

UNITED STATES  
NUCLEAR WASTE TECHNICAL REVIEW BOARD

TECHNICAL WORKSHOP ON THE IMPACTS OF  
DRY-STORAGE CANISTER DESIGNS ON  
FUTURE HANDLING, STORAGE, TRANSPORTATION AND  
GEOLOGIC DISPOSAL OF  
SPENT NUCLEAR FUEL IN THE UNITED STATES

Monday

November 18, 2013

Embassy Suites  
1250 22nd Street, NW  
Washington, DC 20037

OFFICIALS OF THE NUCLEAR WASTE TECHNICAL REVIEW BOARD  
PRESENT

BOARD MEMBERS

Dr. Rodney C. Ewing, Chairman, NWTRB  
Dr. Jean Bahr  
Dr. Steven M. Becker  
Dr. Susan L. Brantley  
Dr. Sue B. Clark  
Dr. Gerald S. Frankel  
Dr. Linda K. Nozick  
Dr. Kenneth Lee Peddicord  
Dr. Paul J. Turinsky  
Dr. Mary Lou Zoback

EXECUTIVE STAFF

Nigel Mote, Executive Director  
Karyn D. Severson, Director, External Affairs  
Debra Dickson, Director of Administration

SENIOR PROFESSIONAL STAFF

Daniel Metlay  
Gene Rowe  
Bret Leslie  
Roberto Pabalan

ADMINISTRATIVE STAFF

Linda Coultry, Meeting Planner  
William D. Harrison, Systems Administrator

I N D E XPAGE NO.**Call to Order and Introductory Statement**

Rodney C. Ewing, Ph.D.

Chairman

U.S. Nuclear Waste Technical Review Board . . . . . 5

**DOE Remarks**

Peter Lyons, Ph.D.

DOE Assistant Secretary for Nuclear Energy. . . . . 14

**Open Discussion** . . . . . 33**Present U.S. Dry-Storage System Designs and  
Projected Inventory**

Jeffrey Williams

Director

Nuclear Fuels Storage and Transportation  
Planning Project. . . . . 39**Implications of Repackaging Used Nuclear Fuel**

Rob Howard

Project Engineer, Used Fuel Systems

DOE-NE Nuclear Fuels Storage and Transportation

Planning Project (NFST)

Oak Ridge National Laboratory . . . . . 58

**Open Discussion** . . . . . 73**Preliminary Technical Evaluation of Dual-Purpose****Direct Disposal Alternatives**

Evaristo J. (Tito) Bonano, Ph.D.

Senior Manager

Advanced Nuclear Energy Programs (6220)

Sandia National Laboratories. . . . . 81

**Open Discussion** . . . . . 98**International Perspectives on the Impacts of the Design  
of the Spent Fuel Management Programme on Spent Fuel  
Handling, Transportation and Disposal**

Dr. Thilo v. Berlepsch

DBE Technology GmbH . . . . . 103

**Open Discussion** . . . . . 118

I N D E X  
(Continued)

PAGE NO.

**Regulatory Perspectives on Spent Fuel Management**

Allison M. Macfarlane, Ph.D.

Chairman

U.S. Nuclear Regulatory Commission . . . . . 123

**Open Discussion** . . . . . 137

**Adjourn** . . . . . 145

P R O C E E D I N G S

1

2

1:00 p.m.

3

4

5

6

7

EWING: Welcome to the Nuclear Waste Technical Review Board's workshop on the impacts of dry storage canister designs and the handling, storage, transportation, and geologic disposal of spent fuel in the United States. I'm Rod Ewing, the Chairman of the Board.

8

9

10

11

I'll discuss the Board's mission and introduce the other members of the board in a moment, but first I want to describe what we have planned for this two-day workshop and why we believe it's important and timely.

12

13

14

15

16

17

18

19

20

21

22

23

First, the broad overview. This afternoon, in order to be sure that everyone has the same information, we will start the workshop with four technical presentations on current practices and likely trends in the storage of spent nuclear fuel. Tomorrow, building on this background, we will attempt to identify the impacts of such practices on the storage, transportation and handling, and disposal of spent fuel. In order to facilitate a discussion, Board staff have prepared a framework document that outlines a number of the important issues, and there are copies of this framework document out on the tables just outside the entrance to this room.

24

25

The Board started examining these issues about two years ago as part of our ongoing review of DOE activities.

1 And since then, important issues have emerged that we believe  
2 should be examined for their potential impact on the  
3 management system as a whole. These issues are important  
4 regardless of any specific site for a geologic repository.  
5 And while much of the discussion will focus on commercial  
6 spent fuel, we also consider the impacts of DOE spent fuel.

7           For example, we know that unless the large dry  
8 storage canisters that utilities use for storing spent fuel  
9 can be directly disposed of in a geologic repository, it will  
10 be necessary to repackage, that is to transfer the spent fuel  
11 into waste packages designed for geologic disposal.  
12 Repackaging the spent fuel will take time and will involve  
13 handling operations, and there are number of important  
14 impacts including the potential for increased radiation  
15 exposure to workers and the generation of low-level waste.

16           On the other hand, we also know that direct  
17 disposal of large dry storage canisters loaded with spent  
18 fuel presents a number of significant challenges. Issues  
19 related to geologic disposal of these large dry storage  
20 canisters include retrievability and heat load effects on the  
21 design of the repository, such as constraints on the thermal  
22 response of buffer materials and the near-field geology.

23           As many of you know, the Board has long emphasized  
24 the importance of looking at how one part of the nuclear  
25 waste system affects the other parts or is affected by the

1 other parts of the system, and, clearly, the issues that I've  
2 just mentioned have significant system-wide impacts. The  
3 Board believes that by discussing the implications of the  
4 issues in a workshop we can increase the common understanding  
5 of consequences and identify issues that will need to be  
6 addressed in future decision making. The Board also believes  
7 that the timing of this discussion is important, because the  
8 spent fuel inventory increases with each passing day.

9           Following the workshop, the Board will publish a  
10 report that we hope will advance the understanding of this  
11 problem and inform decision makers, particularly--or  
12 especially--from a technical perspective.

13           Many organizations and entities will need to be  
14 involved in some way in the storage and disposal of spent  
15 fuel. Some are federal agencies, and three of those agencies  
16 are participating in this workshop: The Department of  
17 Energy, the Nuclear Regulatory Commission, and the Board  
18 itself. I want to acknowledge the input we have received  
19 from DOE and NRC in planning this workshop, and thank both  
20 agencies for their participation. In particular, we  
21 appreciate that Dr. Peter Lyons, the DOE Assistant Secretary  
22 for Nuclear Energy, has agreed to open today's proceedings;  
23 and that Dr. Allison Macfarlane, the NRC Chairman, will close  
24 this afternoon's session with her perspective on these  
25 topics.

1           Of course, there are many other agencies, entities,  
2 and organizations whose views are critically important, such  
3 as the EPA, the Department of Transportation, Nuclear  
4 Utilities, industry entities, such as the commercial cask  
5 vendors, regional governments, non-governmental  
6 organizations, and the interested and affected public.

7           Over the next day and a half, we look forward to  
8 hearing from representatives of these many very different  
9 organizations as well as from concerned citizens, and I want  
10 to emphasize we've organized this workshop to maximize  
11 participation. Particularly tomorrow, individuals from these  
12 different organizations should seize the opportunity to  
13 participate and raise their concerns and express their points  
14 of view.

15           Now let me briefly describe the Board's mission and  
16 introduce the members of the Board. The Board's an  
17 independent federal agency in the Executive Branch. We are  
18 not part of DOE or any other agency or organization. The  
19 Board was created in 1987 by the amendments to the Nuclear  
20 Waste Policy Act. Our charge is to perform objective ongoing  
21 and independent evaluation of the technical and scientific  
22 validity of DOE activities related to implementing the  
23 Nuclear Waste Policy Act. The Board reports its findings,  
24 conclusions, and recommendations to Congress and to the  
25 Secretary of Energy. For those who are interested in a one-

1 page handout, our summary of Board charge and activities,  
2 there's a handout on the tables outside, and the handout  
3 includes a list of the Board members and a brief description  
4 of each.

5           Now I want to introduce the members of the Board.  
6 Normally this is very easy, because we're separated from the  
7 audience; we exist in some "V" formation at the front of the  
8 room. But, again, to encourage interactions, the Board  
9 members and staff members are spread among the audience, so  
10 I'd ask them to raise their hand so that we can identify them  
11 as we go along.

12           Dr. Jean Bahr, a Professor of Geosciences at the  
13 University of Wisconsin, Madison. She is also a member of  
14 the Geological Engineering Program and is a Faculty Affiliate  
15 to the Nelson Institute for Environmental Studies.

16           Dr. Steven Becker is Professor of Community and  
17 Environmental Health in the College of Health Sciences at Old  
18 Dominion University in Virginia.

19           Dr. Susan Brantley is a Distinguished Professor of  
20 Geosciences in the College of Earth and Mineral Sciences at  
21 Penn State where she's also Director of the Earth and  
22 Environmental Systems Institute and is a member of the  
23 National Academy of Sciences.

24           Dr. Sue Clark is a Regent's Distinguished Professor  
25 of Chemistry at Washington State University.

1           Dr. Gerald Frankel is a Professor of Material  
2 Science and Engineering, and Director of the Fontana  
3 Corrosion Center at Ohio State University.

4           Dr. Efi Foufoula-Georgiou--she may not be here yet;  
5 she's still on her way--is the Distinguished McKnight  
6 University Professor of Civil Engineering and Director of the  
7 National Center for Earth Surface Dynamics at the University  
8 of Minnesota.

9           Dr. Linda Nozick--is there--is a Professor in the  
10 School of Civil and Environmental Engineering and Director of  
11 the College Program in Systems Engineering at Cornell  
12 University.

13           Dr. Lee Peddicord has served as Director of the  
14 Nuclear Power Institute at Texas A&M University since 2007  
15 and is a Professor of Nuclear Engineering.

16           Dr. Paul Turinsky is a Professor of Nuclear  
17 Engineering at North Carolina State University. Since 2010  
18 he served as the Chief Scientist for the Department of  
19 Energy's innovation hub for modeling and simulation of  
20 nuclear reactors.

21           Dr. Mary Lou Zoback--is there--is a Consulting  
22 Professor in the Environmental Earth System Science  
23 Department at Stanford University; she is a seismologist and  
24 member of the National Geophysicists and Seismologists; and  
25 member of the National Academy of Sciences.

1           As I've introduced myself, I'm Rod Ewing. I'm a  
2 Professor at the University of Michigan in Earth and  
3 Environmental Sciences, Material Sciences and Engineering,  
4 and Nuclear Engineering and Radiological Sciences.

5           All of the Board members serve part time, but we  
6 have a talented full-time staff. You'll recognize them by  
7 their blue name tags, similar to what the Board members have,  
8 and you should feel free to ask for any assistance that might  
9 be required during the meeting.

10           Now let me make a few detailed--give you a more  
11 detailed description of the workshop, particularly today's  
12 activities.

13           As already mentioned, Dr. Peter Lyons will open the  
14 workshop with a presentation on DOE's perspective on dry  
15 storage canister designs and how designs may impact the spent  
16 fuel management system including storage, transportation and  
17 disposal.

18           Next we'll hear from Jeffrey Williams, the DOE  
19 Director of Nuclear Fuel Storage and Transportation Planning  
20 Project. Jeff will discuss the range of dry storage canister  
21 designs currently in use in the U.S. and the projected  
22 inventory of canisters that will have accumulated by the time  
23 the currently operating reactor fleet shuts down. This will  
24 give us some idea of the scale of the problems that we're  
25 facing.

1           Then Rob Howard, Project Manager at the Oak Ridge  
2 National Laboratory, will present some of the challenges of  
3 repackaging spent fuel from large dry storage canisters into  
4 smaller containers for transport and disposal.

5           Dr. Evaristo Bonano, Senior Manager at Sandia  
6 National Laboratories, will discuss direct disposal of large  
7 dry storage canisters and some of its effects on repository  
8 design.

9           Dr. Thilo von Berlepsch, from the German company  
10 DBE Technology, will provide some insights based on  
11 experience in Germany, which has undertaken similar work  
12 related to managing spent fuel.

13           And then, finally, Dr. Allison Macfarlane, Chairman  
14 of the NRC, will wrap up the day with observations from the  
15 perspectives of the regulator.

16           Tomorrow morning, Nigel Mote, the Board's Executive  
17 Director, will set the stage for the breakout sections, which  
18 will occupy the entire morning. He'll explain the logistics,  
19 how we plan to keep the discussions focused and record  
20 outcomes, and he'll also explain the role of facilitators,  
21 which we've taken on in order to move this process along. We  
22 see these sessions as the primary opportunity for identifying  
23 critical issues, and it's our way of ensuring the fullest  
24 possible participation from the attendees. So please pick  
25 your session and be active participants.

1           The two breakout sessions will consider one of two  
2 imagined scenarios: The first scenario assumes the need to  
3 repackage the spent fuel stored in dry storage canisters. In  
4 this session, we'll identify the issues associated with  
5 repackaging all the way through geologic disposal. The  
6 second scenario assumes direct disposal of large dry storage  
7 canisters without repackaging, and here we will identify  
8 issues associated with the disposal of these very large  
9 packages.

10           Following lunch, we'll reassemble as a single group  
11 and the Board member rapporteurs will review the essential  
12 points from their respective breakout sessions. Each report  
13 will be followed by a facilitated open discussion, and then  
14 Nigel will lead a final discussion to record important  
15 takeaways. And at the close of the workshop, there'll be  
16 another discussion providing a concluding opportunity for  
17 public comment. And if you would like to take advantage of  
18 the public comment session at the end, please sign up on the  
19 list that's outside the room.

20           As usual, we want to remind everyone that the views  
21 expressed by Board members are their own, not official Board  
22 positions. That should also be considered as the case for  
23 the representatives of the other agencies and organizations  
24 who are participating in the workshop.

25           We're transcribing the proceedings, including both

1 of the breakout sessions, so please, when you speak, speak at  
2 one of the microphones, identify yourself and your  
3 affiliation, so that that becomes part of the record. If  
4 there's additional material you want to add to the record,  
5 please send it to us and it will be added to the materials  
6 from the meeting.

7           So, now, after that long introduction--this morning  
8 I learned the Gettysburg Address was only 271 words, and all  
9 I can say is I've spared you a lot of the things that I cut  
10 out of the introduction. Okay. So, go ahead--please mute  
11 your cellphones--and let's begin, and I'm very pleased to  
12 introduce Dr. Peter Lyons.

13           LYONS: So shall I--you'll advance the slides? Okay.

14           Anyway, it's good to be back with NWTRB again. I  
15 certainly value these opportunities to get together and share  
16 perspectives and better understand some of the challenges  
17 that you're working with as well.

18           My comments today are going to be more of a fairly  
19 high level overview. There's going to be a number of more  
20 detailed talks following, which will go into more detail on  
21 several of the different topics that I'll introduce. But  
22 between Jeff and Rob and Tito, I think, over the course of  
23 the afternoon, we'll give you a pretty good introduction to  
24 the DOE programs.

25           Let's go on to the next slide. Okay.

1           LYONS: So how about the next slide and we'll forget  
2 about this fancy little tool here.

3                     In any case, just a reminder that President Obama  
4 has spoken frequently on different aspects of the importance  
5 of nuclear energy. This particular quotation, certainly one  
6 that I would guess NWTRB members resonate very well with  
7 where he speaks about the importance of leaving our children  
8 a planet that is not polluted or damaged and by making steady  
9 progress on cutting carbon pollution. That second comment  
10 refers to some of his remarks about construction of new  
11 plants that is now ongoing in the country.

12                    And the next slide. Dr. Moniz, of course, has now  
13 taken the helm of Secretary of Energy. He brings a  
14 tremendous portfolio of contributions across the widest range  
15 of different scientific specialties, and in particular in  
16 nuclear power, starting with some of his work--well, one of  
17 his key elements was the future of nuclear power study that  
18 he and a number of colleagues at MIT authored some years ago.  
19 He also was a member of the Blue Ribbon Commission, as I'm  
20 guessing that many of you know.

21                    Dr. Moniz has spoken many, many times on the  
22 importance of nuclear energy, the importance of how we  
23 integrate nuclear energy into an overall nuclear technologies  
24 portfolio that includes nonproliferation as another key  
25 element of the overall DOE portfolio, and he's also

1 frequently speaking on the importance of the President's  
2 climate action plan and the roles that DOE can be playing and  
3 is playing in reducing carbon emissions for the nation.

4           Next slide. I've spoken with this group many  
5 times, and I don't think this slide would surprise any of  
6 you, but the responsibilities within my office cover a wide  
7 range. Pretty much all, though, focused in research,  
8 development, and demonstration activities, everything from  
9 reducing technical and regulatory risks, financial risks. We  
10 do now have the responsibility for the nuclear waste program  
11 for the nation, but I'll talk a little bit more about how we  
12 at least would be hoping that that would transition in the  
13 not too distant future. And, of course, industry  
14 collaboration is a very important part of our activities.

15           Next slide. I have talked with the NWTRB I don't  
16 know how many times about the Blue Ribbon Commission  
17 recommendations, and I'm sure you can quote them by heart--  
18 or, at least if you're interested, I'm sure you can quote  
19 them by heart. One of your speakers later today--I know  
20 Allison was a member of the BRC. There may be other members  
21 of the BRC in the audience. I came running in so late that I  
22 don't honestly know who all's in the room. But I don't think  
23 it's appropriate to talk through the BRC recommendations; I  
24 think you're well aware of them. It's an outstanding set of  
25 eight very carefully worded recommendations that certainly

1 was a very thoughtful approach to how the national can move  
2 towards a sustainable path for management of used fuel and  
3 high-level waste.

4           That report came out in January of 2012--and if I  
5 could have the next slide--the administration strategy in  
6 response to the Blue Ribbon Commission was published in  
7 January of 2013. Again, I believe I've had the opportunity  
8 to talk to this with the NWTRB, but just very, very briefly,  
9 the administration strategy started with endorsing the  
10 consent-based approach. It talked about the elements of  
11 system design starting with an administration support for a  
12 pilot consolidated storage facility followed by a full-size  
13 consolidated storage facility--well, facility or facilities.  
14 In all cases, we recognize that whether there's one or more  
15 facilities in some cases may well be determined through the  
16 consent-based process and recognizes the importance of moving  
17 towards geologic repository and developing a carefully  
18 engineered and thought through transportation system.

19           Off in that lower right corner, speaking to  
20 governance and funding, the administration strategy endorsed  
21 the Blue Ribbon Commission recommendations to move towards a  
22 new organization that would be focused on these challenges of  
23 the back end of the fuel cycle, specifically on the  
24 consolidated storage, and moving towards a repository and on  
25 funding. The administration strategy recommended and gave

1 several suggestions on how one could move towards a  
2 sustainable funding formula for the activities of this new  
3 organization whenever it is constituted.

4           Next slide. In actions taking place, I believe,  
5 since I last addressed this organization, there has been some  
6 very important Congressional activity. Four key senators,  
7 leaders and ranking members on two key committees, have  
8 worked together to introduce Senate Bill 1240. That bill  
9 enables and authorizes many of the key aspects within the  
10 work--that were part of the Blue Ribbon Commission  
11 recommendation and, in turn, part of the administration  
12 strategy.

13           I believe S-1240 was introduced in the June  
14 timeframe. There was a hearing in July when Dr. Moniz  
15 provided testimony on behalf of the Department of Energy in  
16 general support for S-1240, and Dr. Moniz referred to S. 1240  
17 as a very useful, very important framework on which to build  
18 further discussions with Congress and on which to be moving  
19 towards final legislation.

20           The exact path that may be followed by S-1240,  
21 certainly I don't have a crystal ball to tell you what that  
22 is. My hope would be that since it was introduced in the  
23 Senate that there will be an opportunity perhaps for the  
24 Senate to consider this in the not too distant future. I  
25 have to admit that as it gets to the House, my ability to

1 predict what may happen gets substantially more and more  
2 clouded, and your guess is probably as good as mine as it  
3 gets to the House.

4           But, certainly, we regard S-1240 as an extremely  
5 important piece of legislation, as I indicated, providing a  
6 vital framework to how the nation can move ahead with used  
7 fuel and high-level waste and make very substantial progress  
8 on implementing the recommendations of the Blue Ribbon  
9 Commission and the administration strategy, and we would  
10 dearly love to have the opportunity to move ahead and work  
11 under this Congressional framework.

12           Next slide. I wanted to give you just a little  
13 flavor for an activity that is ongoing now within the  
14 Department. Within the Blue Ribbon Commission, there was a  
15 suggestion that the administration should review the  
16 commingling study. The commingling study, as I'm guessing  
17 this audience is well aware, was the 1985 study, which led to  
18 the 1985 Presidential decision, that there would be a single  
19 repository for both defense and civilian waste. When, again,  
20 the BRC recommended that that study be revisited, it didn't  
21 provide a recommendation on what the outcome would be, but it  
22 suggested that it was certainly time to review that decision.

23           Dr. Moniz, in his testimony to the Senate Energy  
24 Natural Resources Committee, also was asked about  
25 commingling, and he indicated in his testimony that the

1 Department has initiated an analysis of the pros and cons of  
2 relooking at the commingling decision.

3           The next slide. It's probably an eye chart for me;  
4 it's an eye chart for you. And perhaps it's sufficient to  
5 just note that a whole lot has changed since 1985, and  
6 whether one is looking at the--from a legislative standpoint,  
7 because we didn't have the amendments, the Nuclear Waste  
8 Policy Act in 1985. Whether one is looking at the types of  
9 waste inventory, that has certainly changed. DOE's mission  
10 has changed in that we're now very much--from a weapons  
11 standpoint, we're in a dismantlement, decommissioning mode  
12 for weapons, well into the environmental cleanup programs.  
13 Many, many changes in the DOE's mission since 1985.

14           In terms of a technical basis, I'm sure this  
15 audience could tick off far more items than I have here of  
16 changes that have taken place both nationally and  
17 internationally from the technical standpoint of disposal  
18 strategies. We didn't have WIPP in 1985. The progress  
19 around the world certainly was in a far more primitive state.  
20 And, just in general, there is a tremendous wealth of  
21 information that has become available as information as well  
22 as experience, as facilities, and WIPP being the premiere,  
23 have come into operation and demonstrated very successful  
24 operation.

25           And then programmatic considerations, very, very

1 long list. And, again, you could probably identify several  
2 areas that we didn't have down there on this slide, but at  
3 least some of the key ones was that in 1985 you didn't have  
4 the various state consent orders, which levy substantial  
5 penalties if the Department does not take certain actions on  
6 removing certain wastes from certain states at a particular  
7 time.

8           So, all of these are different aspects that have  
9 changed since the decision in 1985. This commingling study  
10 is ongoing. I am certainly not at a point where I can report  
11 on details of that study or even on timeframe when this may  
12 eventually be released by the Department, but it's an active  
13 study, and I think I've at least indicated that there's some  
14 very good reasons why it's an appropriate time to be  
15 reviewing this study.

16           Let me go on to the next slide. The next slide.  
17 And let me use this slide to introduce pretty much the rest  
18 of the talk. And I'll be going through these in very high  
19 level and saving details for the talks to follow. But, just  
20 in general, within the programs in my office led by Monica  
21 Regalbuto as the Deputy Assistant Secretary, we're trying to  
22 lay a preparatory framework for implementing both the  
23 administration strategy and the Blue Ribbon Commission  
24 recommendations.

25           Indicated on those--whatever it is--six different

1 bullets down there are a number of different studies and  
2 activities that are ongoing. A number of the leaders of  
3 those studies are in the room, and some will be speaking with  
4 you later. But these are different aspects of areas that we  
5 can do now under existing authorizations. And, of course,  
6 once and if a bill like S-1240 is passed, then we would  
7 hopefully have specific authorizations to move ahead with far  
8 more detail.

9           But, as indicated here, there are system analysis  
10 studies ongoing. There's studies of different modes of  
11 integrating the waste management system studies on the  
12 different aspects of the very substantial amount of  
13 transportation and transportation issues that will be raised  
14 by that transport as one looks towards moving ahead with the  
15 back end of the fuel cycle and with high-level waste. Issues  
16 associated with standardization of many of the components.  
17 Degradation mechanisms and long-term storage I'll say a  
18 little bit more about, and then a whole range of different,  
19 I'd say, foundational information that will be useful as we  
20 or this new entity moves ahead with the challenges that are  
21 being addressed here.

22           The next slide. I indicated on that last slide  
23 that one of the very important issues is to develop a  
24 technical basis and to conduct system analyses to understand  
25 different storage mechanisms, and also to study degradation

1 mechanisms that can occur in protracted long-term storage.  
2 And then, finally, a number of different generic design  
3 studies for different aspects of the issue like standardized  
4 storage, transportation, and disposal canisters of various  
5 types.

6 All of these are different areas that are being  
7 studied within Monica's programs, but all are studied from  
8 the perspective of staying within existing authorizations,  
9 and, in addition, staying away from anything that is site  
10 specific. To the extent that we are doing generic research  
11 that covers the broad areas in these different topics we  
12 believe we have very adequate authorization to proceed, but  
13 we do not have authorization to proceed on anything that  
14 starts to resemble site-specific activities.

15 The next slide. On standardization and  
16 integration, this slide lists a number of different aspects  
17 of the overall challenge. There have certainly been a  
18 variety of different storage canister designs that have been  
19 used by the utilities. Some are certified only for storage,  
20 some certified for storage and transportation, but none of  
21 these have been certified for disposal. To the extent that  
22 one could come up with a standardized disposal canister, that  
23 would certainly be a highly effective and economical way of  
24 proceeding, but we're a long ways from having that situation  
25 now. We have awarded contracts to begin feasibility studies

1 of what might eventually lead to standardized storage,  
2 transportation, aging, and disposal canisters, and I think  
3 you'll hear a little bit more about those studies as we move  
4 ahead.

5           And then, finally, we're also working with National  
6 Laboratories and with industry on a more quantitative  
7 assessment of standardization, trying to understand how that  
8 would impact different elements of the overall integration  
9 that we're working towards.

10           Next slide. Extended storage, I've mentioned, is  
11 an area where we recognize there should be additional  
12 research. We have some handles on the degradation mechanisms  
13 that could occur in long-term storage, but we see this as an  
14 area that should have additional research to support the fact  
15 of life that there will be substantial use of dry cask  
16 storage throughout the civilian complex, and it's important  
17 that we better understand what degradation mechanisms may be  
18 important to consider within those casks. So, we've been  
19 working to develop a better understanding of the gaps in our  
20 knowledge. We've continued material testing to support this  
21 modeling and simulation, and perhaps most importantly, we're  
22 participating with industry on a full-scale cask  
23 demonstration project.

24           And on the next slide, that shows some of the  
25 industry leaders who are involved in this study: EPRI is

1 heavily involved. The instrumented casks will actually be  
2 located at a Dominion site, and we are looking towards this--  
3 if I can have the next slide.

4           This goes into a little bit more detail on some of  
5 the activities associated with this cask storage  
6 demonstration, but we're going to be focused on both  
7 experimental and analytical work that can be conducted  
8 without modification to existing facilities. The goals of  
9 this program, as enumerated here, are benchmarking predictive  
10 models and empirical conclusions as we test for aging in dry  
11 storage cask conditions. A second goal is to build  
12 confidence in our ability to predict the performance of these  
13 systems over extended periods of time. And, finally, to  
14 provide a platform that can be used for high burnup fuel and  
15 give us an opportunity to monitor and inspect degradation  
16 processes for extended periods of time.

17           You may be well aware that there has been limited  
18 work on this done in the past, but that work did not involve  
19 high burnup fuel, which, of course, is now the direction in  
20 which the industry is moving. So, we see this as very, very  
21 important work that will provide important information as we  
22 look into the future. This is not only coordinated with  
23 EPRI; NRC is heavily involved, and Department of Energy is  
24 all part of the collaboration on this issue.

25           The next slide. Noting here that--as you're well

1 aware--in the current operations in our plants, we're  
2 required--they're required--to utilize dry cask storage to a  
3 very substantial extent as fuel pools are becoming fuller and  
4 fuller. Noting, also, that many of the storage concepts that  
5 are currently used by plants around the country simply are  
6 not compatible with either/or transportation and disposal.  
7 We have a variety of different sizes, shapes, loadings, and  
8 that will be a subject that Jeff Williams will be discussing  
9 a little bit more in his talk. And with limited pool space,  
10 we simply have the requirement that utilities will continue  
11 to have to deploy dry cask storage for a substantial time  
12 looking into the future.

13           The next slide. Some of the challenges here. I  
14 think it goes without saying that the utilities generally  
15 have a different set of problems and a different set of  
16 motivations than the Department of Energy on this particular  
17 issue. From the utility standpoint, certainly their main  
18 focus is to provide safe operations and to provide the  
19 production of electricity. But, from their standpoint, it  
20 may be more efficient, it may be more cost effective to  
21 utilize the largest possible containers and minimize the  
22 number of containers that they have to handle at their site.

23           But from the standpoint of an overall nationally  
24 integrated storage and disposal system, it may well be that  
25 that wouldn't be the first choice. It may be that smaller

1 containers, different types of containers, would be the  
2 choice. Now, we certainly recognize that there's a great  
3 deal of existing history with the canisters that already  
4 exist, and we're trying to see to what extent we can work  
5 with those. But at the same time, we need to be looking  
6 ahead and asking how one could perhaps optimize a national  
7 system that could lead to minimizing the costs, the  
8 efficiencies, improving the safety for all aspects of the  
9 system.

10           So there's somewhat different motivations here, but  
11 we're hoping, through the course of these studies, to get a  
12 better handle on those differences and to move as close to an  
13 optimum situation as we can. Some of the other points noted  
14 on here are the challenges to do with the lack of  
15 transportation certificates and, just in general, a number of  
16 different challenges with the existing canisters that are in  
17 use. Of course, one can imagine repackaging, and there'll be  
18 discussions by Rob Howard later on that. Repackaging  
19 introduces its own set of challenges, and that may be  
20 necessary; but at this point in the studies, we're simply  
21 trying to understand this range of challenges and understand  
22 to what extent the overall system can be optimized.

23           Next slide. Other activities are initiating  
24 planning for large-scale transportation programs, looking at  
25 an evaluation of the inventory, the different interfaces

1 associated with transportation. We can begin to focus, at  
2 least, on the shutdown reactors. We know we're going to have  
3 to be working with those, and the suggestion of both the  
4 legislation and the administration's strategy is that the  
5 initial focus should be on those shutdown plants. And, in  
6 general, we're trying to develop a complete assessment of the  
7 full range of transportation needs.

8           The next slide. A significant part of our program  
9 is also focused on the disposal aspects. We've frequently  
10 made the comment that the United States has quite a range of  
11 different disposal options, and within this work we're trying  
12 to increase the confidence in that statement and understand,  
13 at least on a generic basis, the different environments that  
14 we may have and the different challenges that those  
15 environments may present.

16           Included within this work is working towards a  
17 borehole demonstration project. That was one of the  
18 recommendations of the Blue Ribbon Commission. And even in  
19 our preliminary studies, we can see how for some categories  
20 of perhaps the high-level waste, the borehole may be a very  
21 interesting area to investigate. Now, I'm well aware that  
22 the NWTRB has suggested a somewhat reduced emphasis on  
23 boreholes. It's not that we're cutting back our emphasis on  
24 deep geologic disposal, but we continue to believe that there  
25 may be classes of particularly high-level waste where the

1 boreholes may be an appropriate choice, and we need, in our  
2 opinion, to work towards a better understanding of what  
3 options may be presented there.

4           The next slide. As we look towards legislation, I  
5 already noted that the focus in the BRC, focus in the  
6 administration strategy, is on a new organization. S-1240  
7 sets up that new organization. We're very hopeful that  
8 whatever bill is eventually passed does allow us to move  
9 ahead with a new organization that has a highly focused  
10 mission on the areas under consideration here and the focus  
11 of the NWTRB.

12           I've listed several other attributes that we  
13 certainly hope will be part of the post-legislation time  
14 period. We would anticipate that that would give us suitable  
15 authorization to move ahead with consent-based processes for  
16 these various facilities, and that would imply then that we  
17 would have the authorization. We; the "we" in this case is  
18 probably a new organization if that's how it's set up, but we  
19 would have the capability to move into site specific  
20 activities as we deal on a consent basis with individual  
21 locations.

22           I think these other points are reasonably obvious  
23 that all of these would be aspects of activities that the new  
24 organization would be conducting. And, of course, as I  
25 indicated earlier, we would hope that this legislation

1 provides the framework for a rather complete reformation of  
2 the funding arrangements that we have in this country, which  
3 certainly are not working as intended today.

4           The next slide gives just a little bit of  
5 information on some of the geologic disposal and  
6 transportation issues. Some of the dates listed here are key  
7 in our thinking as we look towards geologic disposal. We've  
8 made the statement in the administration strategy that we  
9 believe we can have it operational in 2048. And while I've  
10 had some people express concern that that's a long time in  
11 the future, we're also trying to recognize that on a consent  
12 basis we don't know what sites may be proposed, we don't know  
13 what characterization may have already transpired on those  
14 sites. So, we've tried to put down dates that assume  
15 essentially that we're starting with a blank sheet of paper  
16 on the consent base and on the characterization. If we can  
17 improve on these dates--if the new organization can improve  
18 on these dates, that's great, but we have tried to put down  
19 realistic dates.

20           And, of course, transportation: The overall  
21 transportation system, the roots, the first responder  
22 training, all of that also has to be conducted in parallel  
23 with these activities. And, again, depending on the sites  
24 that are chosen, we may be able to piggyback on some elements  
25 of work that has gone before us.

1           The next slide shows the location of the shutdown  
2 sites. That wouldn't surprise you at all. I would note that  
3 for the newest shutdown sites: Kewaunee, SONGS, and Crystal  
4 River, we don't really have the final numbers available as  
5 far as what they will be in terms of casks and greater than  
6 Class C waste. So there's some uncertainty in these numbers,  
7 but this is at least our estimates in the case of the recent  
8 shutdowns, and the actual in the case of the ones that have  
9 been shut down for quite a while. But this represents what  
10 we would be dealing with for the shutdown plants.

11           The next slide notes our interest in international  
12 collaboration. I indicated that on a consent basis we  
13 certainly don't know what sites, what geologic formations may  
14 be proposed, and we recognize that within the United States  
15 we don't have strong databases on all of the different  
16 possible repository geologies.

17           In salt, of course, with WIPP, we have a  
18 considerable amount of information as does Germany. But  
19 what's noted on this slide is that we have sought to, in some  
20 cases, restart; in other cases, simply start collaborations  
21 around the world with countries and their organizations that  
22 are involved in characterization of different geologic media.

23           For example, Mont Terri in Switzerland on shale-  
24 based systems; cooperation with ANDRA shale-based systems.  
25 Granite would be Sweden and Finland. But with each of these

1 different communities of expertise, we've tried to build  
2 collaborative activities with the idea that depending on what  
3 geologies may be proposed here, it may be appropriate for us  
4 to seek collaboration and information from some of these  
5 other international participants who have already made  
6 substantial progress in geologic media other than the ones  
7 we've considered.

8           And, finally, by way of conclusion, on that last  
9 slide we're trying to actively develop a fuel management set  
10 of strategies and technologies. We're trying to conduct R&D  
11 on both open- and closed-cycle technologies. Although we  
12 recognize and our focus in the near term is very much on an  
13 open cycle and moving towards geologic disposal, staying with  
14 the open cycle, the BRC did note that at some point in the  
15 distant future, the country may be in a position to move  
16 towards closed cycles.

17           And we have research programs that address several  
18 different aspects, under Monica's direction, that are looking  
19 at the key aspects of a closed cycle to provide the  
20 information if the nation ever did choose to go in that  
21 direction. But, in general, we're trying to lay a foundation  
22 now that can allow us to move ahead effectively on the  
23 immediate challenges of consolidated storage, geologic  
24 disposal, transportation, and throughout this we're looking  
25 at frequent interactions with NWTRB and continuing to benefit

1 from your advice and counsel.

2           So, with that, I'll stop. I don't know if I've  
3 left time for questions or not.

4           EWING: So, thank you, Dr. Lyons, for a very nice  
5 opening for our workshop. And we do have time for questions,  
6 so I'll throw the floor open.

7           Yes, Jean.

8           BAHR: This is Jean Bahr, a Board member. You mentioned  
9 that you're looking at borehole disposal for some types of  
10 high-level waste. Could you amplify what particular types of  
11 high-level waste might be amenable to the kinds of borehole  
12 designs that are being investigated?

13           LYONS: I could ask Monica to do that, but, honestly,  
14 this is very early in the study, and I'm not at all sure that  
15 it makes any sense to be identifying specific candidates now.  
16 We see some that might be amenable to it, but, under Monica's  
17 leadership, there's a broad range of studies going on looking  
18 at the extremely wide range of different forms of high-level  
19 waste that exists around the complex. Certainly not  
20 suggesting that it looks very logical for spent fuel, but  
21 there's a whole lot of other wastes that are out there.

22           Monica, I don't know, do you want to add to that?

23           REGALBUTO: We're looking at small packages. So, one  
24 example is cesium-strontium some capsules, okay, but nothing  
25 big. Something that can fit in the current drilling

1 technology. Certainly not advocating crushing spent fuel  
2 assemblies or nothing like that.

3           We will be publishing a report from Sandia--well,  
4 probably maybe mid-December, end of the year for sure--where  
5 we have analyzed the whole inventory. We did a similar study  
6 where we analyzed the whole spent fuel inventory, the  
7 commercial, and then this year we did it for the defense.  
8 And then, you know, you clearly have a lot more waste  
9 categories, and we tried to group it in terms of different  
10 characteristics that make them similar. And there is a group  
11 of them that are small packages that can potentially go in a  
12 borehole. So, we look forward for your review and comments.  
13 Perhaps by the next meeting we will be ready to present that  
14 study to the Board.

15           EWING: Okay. Thank you.

16           Other question? Mary Lou?

17           ZOBACK: Yeah. Mary Lou Zoback, Board member. Pete,  
18 nice talk. I have a question. You talked a lot about the  
19 standardized canisters and the transportation, and I hear a  
20 lot of words about research, demonstration project. What's  
21 the timeline for this? These things are getting loaded in  
22 every day into canisters, right, so when do you expect  
23 there'll be a standardized canister?

24           LYONS: I don't think I can give you a specific date.  
25 You'll hear in the more detailed talks where we are in that

1 research. To actually move in that direction--well, there  
2 may be a question whether one wants to move in that direction  
3 until one has more information on what the geologies may be,  
4 although perhaps it will be possible. Some of the technical  
5 experts say it may be possible to come up with canister  
6 designs that could be more forgiving of multiple geologies.  
7 But I can't give you a specific answer now unless one--let me  
8 just say some of the subsequent talks are very specifically  
9 on the status of that work, and they'll give you our best  
10 guesses on this at the time.

11           And if one were to change how the utilities  
12 package, depending on those changes, you may well find the  
13 need to renegotiate standard contracts, too, so this is not  
14 something that necessarily would happen overnight.

15           EWING: Okay. Thank you.

16           The back, please.

17           FLETCHER: Hi. I'm Ken Fletcher with Exchange Monitor  
18 Publications. The NRC this morning asked DOE to move ahead  
19 with the supplemental environmental impact statement to  
20 support Yucca Mountain licensing. I was hoping you might be  
21 able to give us an idea of sort of what that would entail on  
22 your end and when you might be able to move ahead with that.

23           LYONS: Frankly, I haven't been out of a meeting since 8  
24 o'clock this morning. I know the NRC issued a decision. I  
25 have not read it. You just told me more than I know about

1 that decision. So, it's really premature for me to be  
2 commenting now, but give me a chance to at least read the  
3 decision, and that's not going to be until sometime later,  
4 I'm sorry.

5 I'm sorry, Allison, I wasn't listening over the  
6 phone while you announced it. I was in other meetings.

7 EWING: All right. Let me say, because we have very  
8 specific purpose for this workshop, so let's try to confine  
9 the questions to within the boundaries of the workshop.  
10 There are breaks, and at breaks you're free to corner people  
11 and ask other questions, so I don't let them off the hook  
12 entirely.

13 Other questions? Yes, sir.

14 BADER: Thanks. Sven Bader for AREVA. Pete, is there  
15 any possible future for a map of the United States for  
16 disposal be feasible? You know, in preparation for consent,  
17 you're going to have a lot of communities, hopefully, want to  
18 jump on this process. Is there any potential that there'll  
19 be a map of either exclusionaries, areas that you don't want  
20 to put a repository, or areas that you can put a repository?  
21 Or does it not matter because you'll have an engineered  
22 barrier system that solves all that?

23 LYONS: I don't know of how useful it would be.  
24 Honestly, on a consent basis, I think the first issue that  
25 will be evaluated by any community and state that would be

1 interested would be to evaluate if for some reason they would  
2 regard themselves as being an exclusionary of some sort.  
3 That would strike me as a fairly logical thing to do early  
4 on.

5           There certainly are past studies that have  
6 identified general areas of the country that have different  
7 potential geologies: shale or granite or salt. Those are  
8 certainly available from past work, and based on what's going  
9 on around the world and our own success with WIPP, albeit for  
10 a different class of waste, I think it's at least reasonable  
11 to anticipate that maps like that would be very useful to  
12 communities as they look ahead. I don't particularly see  
13 anything large gained at this stage by coming up with  
14 exclusion areas. There will be many opportunities to discuss  
15 exclusion of any particular proposed site I'm sure.

16           BADER: Okay.

17           EWING: I have a question, Pete.

18           LYONS: Yeah, Rod.

19           EWING: An issue that you raised that's very relevant to  
20 the workshop and the mixture of people we have here is you  
21 pointed out that the utilities and DOE have very different  
22 perspectives and motivations when they look at putting spent  
23 fuel into a cask or a canister. How would those different  
24 perspectives be harmonized? What would be the mechanism for  
25 doing that? Would that be regulation, say, through the NRC,

1 or is there some other path forward?

2           LYONS: Well, we certainly need to continue the studies  
3 that are ongoing, and we recognize that there's large numbers  
4 of casks that are already filled. To the extent one can deal  
5 with some, or perhaps even ideally all of those casks, that  
6 certainly simplifies the handling, the repackaging, and the  
7 greatest challenges that would be associated with that. My  
8 guess is if one really did decide on a particular future type  
9 of cask that was to be utilized, there probably would be a  
10 requirement to renegotiate standard contracts. Because right  
11 now that's not in the standard contract.

12                   It doesn't say, thou shall use this cask. And I can  
13 well imagine those would be interesting renegotiations. But  
14 I certainly agree with your point, and I stated it too, that  
15 the utilities and potentially the disposal organization,  
16 waste management organization, are going to have different  
17 perspectives. And exactly how those are harmonized looking  
18 into the future is a challenge.

19                   And I agree with the comment, too, that time's a  
20 wasting. It's been wasting for a whole lot of decades. So,  
21 it would be very nice to get to that point, but I don't think  
22 we're quite there yet.

23           EWING: All right. Thank you.

24                   And let's thank Pete again for that presentation.

25                   So, I'll be keeping us on schedule, and I realize

1 that may mean that I'm cutting off some questions, but,  
2 again, there will be plenty of opportunities during the  
3 meeting for additional questions.

4 So, the next presentation is by Jeffrey Williams,  
5 DOE Director, Nuclear Fuel Storage and Transportation  
6 Planning Project, and he'll be speaking on present U.S. dry  
7 storage systems designs and the projected inventory.

8 So, Jeff?

9 WILLIAMS: Thanks, Rod.

10 This is on? Okay.

11 All right. I'm going to focus on commercial spent  
12 fuel with an emphasis on fuel that's in dry storage. And I  
13 think, as Rod said in the beginning, is this is going to set  
14 the stage for the issue. It might be rather dry to some of  
15 you, but, anyway, it's been something I've thought about for  
16 25 years.

17 Go to the next slide. This is what Pete was  
18 talking about with the standard contract. And one thing I'd  
19 like to say on this is that the contract was written in 1983  
20 and there were no canisters in existence at the time, so it  
21 was something that wasn't on people's minds. But we're going  
22 to be talking about spent fuel in these multi-assembly  
23 canisters—sealed, welded canisters, and so we put this slide  
24 up.

25 Go to the next one. So, what I'm going to talk

1 about is the inventory at nuclear power plants, the inventory  
2 of spent fuel by reactor type, by storage method, by location  
3 and then projected inventory with, as I said, a focus on dry  
4 storage. And then I'm going to say a little bit about  
5 implications; however, Rob Howard is going to talk about what  
6 it takes to open a canister, and Tito will talk about  
7 implications associated with disposing of any of these  
8 canisters that have been built to date.

9           Next slide. Okay. This gives you an idea of where  
10 the nuclear power plants are, their history, and their  
11 location. There's 119 of them that have been built and  
12 operated; there's 100 of them in operation today, or as of  
13 November 2013. Two operating reactors have announced early  
14 shutdowns: That's Vermont Yankee and Oyster Creek in 2014  
15 and 2019. There's a couple that are being built that are not  
16 shown on here at Vogtle, and there's four new builds also:  
17 Two at Summer, Bellefonte, and Watts Bar.

18           There were 10 nuclear power plants on nine shutdown  
19 sites. There's always been the talk about the shutdown  
20 sites, and these have been the ones that have been talked  
21 about for a while that were shut down prior to 2000, and the  
22 only fuel management activities they have going on is their  
23 spent fuel storage and then some decommissioning activities  
24 on some.

25           There was one nuclear power plant that was

1 disabled, which was Three Mile Island, and there's three  
2 nuclear power plants that are shut down on sites that have  
3 operating reactors. That's Dresden, Millstone, and Indian  
4 Point.

5           And then there's four nuclear power plants on three  
6 sites that ceased operation this year, and there's five--  
7 that's San Onofre, Kewaunee, and Crystal River.

8           Okay. Where's all the spent fuel going? The  
9 future inventory? And what this shows you is the blue line  
10 shows the amount of fuel that's been discharged. The solid  
11 blue line is up to today.

12           I see this isn't projecting the bottom line, which  
13 is on my slide. You might be using the PDF version instead  
14 of the PowerPoint, which might be a problem, but in any  
15 event, what this shows--in my file it shows there's about  
16 70,000 tons of spent fuel that have been discharged from  
17 reactors to date. About 20,000 of that is in dry storage,  
18 and so there's about 50,000 tons in pools to date.

19           And then it shows at the shutdown reactors right  
20 now there's on the order of 5 or 6,000 tons, and it also  
21 shows that as more and more reactors shut down--the bottom  
22 red line--more and more of that will go into dry storage.  
23 And by the year 2060, basically the assumption is most of the  
24 fuel will be in dry storage unless something different has  
25 taken place.

1           You can go to the next one. This gives you an idea  
2 of the amount of spent fuel by type: pressurized, water  
3 reactor, and boiling water reactor sites. And it shows  
4 that--you can count this up in different ways. You can count  
5 it up by weight, or you can count it up by assemblies. We  
6 normally count it up by weight. And by weight the PWR, or  
7 the pressurized water reactors, fuel is the majority, and  
8 boiling water reactors is somewhat less. I used to say it  
9 was 60/40 percent. It looks like now it's a little different  
10 than that, but this gives you an idea of where it is, of how  
11 much there is, and there's about 30 percent or so in dry  
12 storage to date. And since the pools are nearly full in all  
13 cases, the amount in dry storage is going to increase over  
14 time.

15           This doesn't include a couple of things like Three  
16 Mile Island debris, Fort St. Vrain, and some fuel at Idaho,  
17 but other than that, this is the majority of the amount of  
18 commercial fuel, which comes from data sources. 2002--what  
19 we called RW-859 database actually is undergoing revision  
20 today, and the call has gone out to collect new data. And so  
21 the data from 2002 through today is forecasts that DOE has  
22 been making for several years.

23           Okay. This slide up here is really to try and help  
24 people understand some of the terminology. People throw  
25 around the words canisters, casks, overpacks, and since I

1 testified on this in court one day, I'm going to try and  
2 explain it to you here.

3           A canister of fuel--this is a multi-assembly  
4 canister here in the left. And in this canister there'll be  
5 several assemblies: 24, 32, 37, or whatever the number is,  
6 and that canister will be welded closed. That's loaded in a  
7 spent fuel pool. Here is a picture here of some of the  
8 canisters at Zion, and those canisters don't provide  
9 shielding. Okay, they do provide confinement; however, they  
10 don't provide shielding. They also help to get the heat out  
11 the way they're designed. They provide criticality control  
12 in a transportation accident, but they have to work with  
13 other components.

14           The far right there is--we'll use a transfer cask,  
15 which is different than a transportation cask. A transfer  
16 cask is what's used at a utility site. Thanks. There.  
17 Okay. The transfer cask is sitting there, and they will move  
18 the canisters from the utility building out and place it in  
19 an overpack, which can be a storage overpack or a  
20 transportation overpack. And the term "overpack" is more of  
21 a generic term, where the more technical term is a "cask."  
22 And they start to use the term "overpack" when you place a  
23 canister inside of either the transportation cask or the  
24 storage overpack.

25           Down on the bottom is a transportation cask, which

1 you can see is different than a transfer cask. First of all,  
2 it has NRC regulatory dose limits, which the onsite transfer  
3 cask doesn't have to have. And it has these large what we  
4 call impact limiters, what AREVA will call shock absorbers,  
5 to reduce the G-loads during any kind of accident.

6           And then, lastly, down here you see these are the  
7 storage casks, or sometimes they're called overpacks, where  
8 the canister is placed in them and they're on storage at the  
9 utility site.

10           Okay. This gives you an example of the different  
11 types of dry storage systems. There's horizontal ones that  
12 are made up of concrete. The canister is placed in here  
13 horizontally, and they are ventilated. The air comes in  
14 through the bottom, out through the top. And this is  
15 Transnuclear. About 38 percent of the dry storage systems in  
16 the country are in these horizontal storage containers.

17           And then down below, this one is a vertical storage  
18 container. It's also concrete with a canister inside of it,  
19 and there's two companies that are in the business of making  
20 these: Holtec and the Nuclear Assurance Corporation. You  
21 can see that these don't quite add up to 100. It's actually  
22 96 percent, and that's because Fuel Solutions, which was a  
23 Westinghouse company, has a few of them; however, they're no  
24 longer in the business.

25           There's also a few cask canisters that are in metal

1 transportation overpacks. This Holtec HiStar 100 is at three  
2 different plants: At Dresden, Hatch, and Humboldt Bay, and  
3 they're ready to be transported as soon as you put an impact  
4 limiter, or what's known as a shock absorber, on them, and  
5 they could be transported the way they are.

6           Right here, this Transnuclear 32 is a metal storage  
7 cask. This is the same cask that's proposed to be used at  
8 the high burnup demo project that Dr. Lyons talked about.  
9 Right now it's a storage cask only. It's been used at  
10 several places around the country, primarily Surry Nuclear  
11 Power Plant. And in order for this to be transported, and as  
12 part of the demo, the plans are to go to the NRC and try and  
13 get a certificate to transport the fuel after storage.

14           You can go to the next one. Okay. Bare fuel in  
15 bolted casks. You can see right here there's four vendors  
16 that have provided bolted casks. These top three:  
17 Westinghouse, GNB Castor, and NAC 128, there's only a few of  
18 those. There's 1 of the Westinghouse MC-10s, there's 26 of  
19 the Castor casks, and there's 2 of the NAC casks. And these  
20 were some of the very first dry storage casks that were ever  
21 employed at the Surry Nuclear Power Plant in Virginia, which  
22 was the first plant to need dry storage. They were all part  
23 of a DOE cooperative program. They're bolted closed, they're  
24 storage only, and that's what they have now. They've gone to  
25 a new system more recently.

1           I mentioned the Transnuclear 32, which has been  
2 used at Surry. It is also used at Prairie Island. There's  
3 not--the TN-40 is at Prairie Island. These are just  
4 variations of bolted metal casks that NRC has been using.  
5 Two of them, the TN-40 and the TN-68, have transportation  
6 certificates, so they could be transported. Those  
7 transportation certificates are specific to the casks  
8 themselves.

9           You can see the physical variation. Configuration  
10 varies in size and length and in weight. Just giving you an  
11 idea of what the bolted transportation casks look like.

12           Okay. Then we go to metal canisters that are in  
13 transportation overpacks. And this is the one I mentioned  
14 that's at three plants now: Hatch, Dresden, and Humboldt  
15 Bay. So, this is a metal cask instead of a concrete cask  
16 with fuel in a welded canister. And they could be used to be  
17 transported if they were to purchase impact limiters, which I  
18 think Holtec has told us may take two years to fabricate, and  
19 they could be transported off site. They also vary in size,  
20 and it's primarily because the Humboldt Bay fuel is a lot  
21 shorter. But they all have the same name, the Holtec HiStar  
22 100.

23           Okay. Okay, now we move to the concrete ones.  
24 These are the ones that are mostly in use today. I mentioned  
25 before the horizontal type. There's the horizontal ones and

1 there's the vertical ones. There's three different vendors.  
2 Transnuclear makes the horizontal ones. Nuclear Assurance  
3 Corporation and Holtec make the vertical ones.

4           The canisters, as I said before, provide  
5 containment for the spent fuel. They have criticality  
6 controls in them, and they also have the heat rejection  
7 capability; however, while it's in storage, they are  
8 ventilated. You see the vents down here and the air flows  
9 down and out the top. The same way in this, because there's  
10 a requirement by NRC to keep the fuel at a certain  
11 temperature, 400 degrees centigrade, which will prevent it  
12 from degrading in storage.

13           And then--okay, yeah, we'll go to this one. Now we  
14 go into a little bit more details about canisters themselves.  
15 And what we're showing here is there's been 26 different  
16 kinds of metal canisters that have been licensed by NRC.  
17 They all have light circular cylinders; they vary in length  
18 from 122 to 196; the internal diameters vary; and their  
19 weight varies.

20           A lot of people say, why are there so many of these  
21 different kinds of canisters? Well, it's primarily because  
22 there's a lot of different kinds of fuel in this country, and  
23 fuel characteristics have changed over the years, and this is  
24 what best meets utilities' needs for their operations and  
25 economic conditions.

1           The interiors of the canisters vary. You can see  
2 they vary in the number of assemblies: 7, 12, 24, 32, 37,  
3 and, as I'll say later on, in today's market they're mostly  
4 up in the 32, 37 assembly range. Fairly large. The 7  
5 assembly one was sort of an outlier at H. B. Robinson that  
6 was part of a cooperative demonstration program with DOE in  
7 1986. The 12 assembly one is also an outlier. That's the  
8 Three Mile Island fuel that's at INEL. They started, really,  
9 as 24s down at Oconee. That's in terms of PWR assemblies,  
10 and they have a corresponding number of BWR assembly size  
11 canisters.

12           One of the other things that is important to  
13 understand when you're doing the analysis for transportation  
14 and essentially--and disposal is that the neutron absorbing  
15 materials differ in the canisters. There's some that have  
16 gone to a new material called Metamic; there's some that use  
17 what they call flux traps, and all these things are important  
18 in any kind of analysis of future use.

19           In terms of NRC licenses, there's five that have  
20 been designated storage only. They were never intended to be  
21 transported, and they don't have, for example, criticality  
22 absorbers in them. There's been a lot of people that have  
23 speculated that, well, instead of having to open those, maybe  
24 we could get a one-time transportation certificate for those.  
25 And that may be a possibility; it hasn't been pursued yet.

1           There's 21 of the designs that are designed for  
2 storage and transportation, so they have from the NRC an  
3 approved storage certificate, and an NRC certificate. One  
4 other thing that causes a little bit of confusion are the  
5 vendors: NAC, NUHOMS, Transnuclear. They use different  
6 terminology for their canisters. Transportable storage  
7 canister is--I believe that's--I know multi-purpose canister  
8 is Holtec, and then dry shielded canister is Transnuclear,  
9 and TSC is NAC.

10           Is that right, guys, all you vendors? All right.  
11 Okay.

12           Okay, but as Dr. Lyons said, none are licensed for  
13 disposal, and there's never really been an attempt to try and  
14 do that yet. And they all allow for decay heat and fuel  
15 burnup. And some of them include failed fuel. And, as I  
16 said before, the reason why there are so many of these  
17 different canisters is to meet the needs of the different  
18 sizes, shapes, and so forth of fuel and to meet the needs of  
19 the utilities.

20           This slide, which isn't projecting the pictures for  
21 some reason--and I'm not sure why--it's intended to show how  
22 the sizes of canisters have grown over the years. I think I  
23 mentioned that to you earlier. They went from a 7 PWR up to  
24 a 37 PWR. And they've gone from 10 tons up to 55 tons.

25           Let's go to the next one. This one looks to have

1 all of its pictures that are being shown. Okay.

2           What this is about is about shutdown nuclear power  
3 plants. And the reason I bring this up is because typically  
4 as plants shut down, what they have been doing is moving to  
5 dry storage. That's the case with the nine shutdown sites.  
6 All of the nine originals are in dry storage except for Zion,  
7 and it has a contract to move into dry storage, which will  
8 happen in the near term.

9           But what this slide is showing you is the--over  
10 here are all the shutdown reactors right now. And this group  
11 of shutdown reactors includes shutdown reactors that are at  
12 operating plants, which are Dresden, Indian Point, and  
13 Millstone, so I haven't talked about those before. And then  
14 what we call the stranded reactor fuel casks. Those are the  
15 original nine that we have been talking about that was  
16 addressed in the BRC Report. And, as I said, all of the fuel  
17 there is in dry storage except for Zion.

18           Then we have some new ones over here, and these  
19 have been shut down in the last year. Crystal River, which,  
20 as I understand it, they've forecasted 42 new casks. They  
21 don't have any in dry storage. I would say this might be a  
22 target to do something new with. Kewaunee already has some  
23 in dry storage. They've got 8 loaded; they're projecting 42  
24 new casks. San Onofre has 50 loaded, and they project 166  
25 more dry storage casks. So, these are pools, which they cost

1 a lot to operate the pool, and so the incentive will be to  
2 move into dry storage.

3           Go to the next one. I'm not going to go through  
4 all this in detail at all, but you could study it. But this  
5 shows you the type of storage systems at the shutdown reactor  
6 sites. The point is that even at the nine that are stranded  
7 and the new recent ones, they're all using different kinds of  
8 casks. There's 12 shutdown plants here: The 9 original  
9 stranded, the 3 new ones, Crystal River, Kewaunee, and SONGS,  
10 and they have 17 different canister designs, eight different  
11 storage overpack designs which require eight different  
12 transportation overpack designs. So, some people would say  
13 the opportunity for standardization ship has sailed. And  
14 this was recognized back in 1989.

15           You can go to the next one. Okay. Now, this is  
16 just looking at the potential inventory in the future. And I  
17 haven't tried to project casks here, but, basically, if all  
18 these reactors run to the end of their lives, our projections  
19 show that there'll be about 140,000 tons of fuel that are  
20 generated. And if all of that were to go in the types of dry  
21 storage canisters that we're talking about now, that's on the  
22 order of 10, 11, 12,000 canisters of fuel.

23           The current pool capacity is about 50,000 right  
24 now, so that's an amount of fuel that has not been put into  
25 canisters. As more and more of these reactors shut down

1 early, they're going to continue to reduce their pools, as  
2 we've seen at the stranded sites, as we're going to see at  
3 Zion and so forth. So, our projections show that that could  
4 drop to 40,000, which then is dropping the amount of fuel  
5 that you could do something new with. These scenarios really  
6 are based on no replacement of nuclear power reactors, no new  
7 early shutdowns, and no new builds are included. This is  
8 just to give you an idea of what the assumptions are that  
9 built up this 140,000.

10           Now, also not included in this is the new  
11 production, or the new reactors, and I just put these up here  
12 to give you an idea of what kind of discharges they would  
13 have from Watts Bar, Bellefonte, Vogtle, and Summer.

14           We can go on to the next one. Okay. Like I said  
15 before, earlier, I'm going to touch a little bit on the  
16 implications, but Rob and Tito will talk a little bit more  
17 about this.

18           One thing I think that's important to note is that  
19 you have casks that are certified for transportation and  
20 storage, and so some people think, okay, well if it's  
21 certified for both, then you should be able to transport it  
22 once it's been stored. However, all the fuel that's been  
23 placed in the storage canisters is placed in a way to meet  
24 the storage requirements.

25           The transportation requirements may be different

1 than that. For example, there's fuel that's placed in casks  
2 where the fuel is high burnup, greater than 45,000 megawatt  
3 days, and there's no transportation ability for that.  
4 There's fuel that's hotter than what can be transported in  
5 the transportation casks. So, it's not quite that simple.

6           So, there is a difference between--even though you  
7 have a canister that's certified for transportation and  
8 storage, you might not always be able to transport it right  
9 away. For example, burnups in storage are going up to 65,000  
10 gigawatt days, heat loads up to 40,000. For transport, have  
11 gone up to 40,000 gigawatt days and heat loads in the mid-  
12 20s. So, even though you might have a canister that's  
13 designed for storage and transportation, it could have been  
14 loaded in a way that you're not able to transport.

15           And this continues today because utilities continue  
16 to generate high burnup fuel and put it into their pools.  
17 And as their pools get full, then they need to move it into  
18 dry storage, which is going to require some sort of licensing  
19 action to be able to transport it or a certificate of a  
20 compliance amendment.

21           Okay. And then this one here just gives you a  
22 little bit of idea about the effects of thermal constraints,  
23 because the thermal constraints, as I said, for  
24 transportation are more stringent than they are for dry  
25 storage. As I told you before, in dry storage the canisters

1 are ventilated, also, whereas in transportation they're  
2 enclosed in a metal transportation cask that has additional  
3 shielding and so forth, and so it's a more rigorous  
4 environment.

5           But this just shows you just some examples of some  
6 different canisters and what their storage heat limit is  
7 versus their transportation heat limit. And you can see  
8 they're quite a bit different. And at the same time, vendors  
9 are developing canisters with higher thermal limits, and  
10 which is necessary because of the fuel that's coming out of  
11 reactors today. The implication of that is that the large  
12 dry storage canisters that are loaded to a certain thermal  
13 limit may have to stay at the reactor site for extended  
14 periods of time, perhaps as long as decades before they can  
15 be transported offsite, just because of the thermal limits.

16           This slide here, which appears to be a little  
17 complicated, is from one of our system studies, which the  
18 main purpose of this is to show that if one was to operate in  
19 a system where all the fuel went into canisters as opposed to  
20 removing it from pools, how long it would take to be able to  
21 remove all the fuel from the site after it met its  
22 transportation limits. And, once again, the bottom axes  
23 aren't shown on this slide here for some reason. But the  
24 difference is about from 2065 to 2100. Thirty-five years  
25 longer you would have to leave the fuel in canisters onsite

1 to be able to transport them before they were able to decay  
2 to meet their thermal limits for transportation.

3           And then we go to the next slide. And then this  
4 is just a little bit on the opening, and telling you what  
5 would be involved in opening them. And Rob Howard's going to  
6 follow up on that, but this just comes out of another systems  
7 study that we're doing. The potential amount of assemblies  
8 up here, 2,006, 400,000--close to 500,000 assemblies. And  
9 what's important about this slide is if all of it was in  
10 canisters, it would be in about 11,000 canisters according to  
11 our model's projections; however, if you took some type of  
12 action, depending upon what that action is, you could reduce  
13 the number down to 3,300 if you were able to start accepting  
14 spent fuel in 2021.

15           And then the bottom numbers here just talk about  
16 how many waste packages you might need to repackage,  
17 depending upon the size of them. And the size right here I  
18 put a 4-PWR; 9-BWR, which is consistent with a lot of the  
19 international repositories; a 12-BWR; and a 24-BWR the people  
20 believe could go in a salt repository; and a 21-44-BWR waste  
21 package that is consistent with what was done at Yucca  
22 Mountain. And none of those are larger.

23           And that's really all I had about inventory, and  
24 hopefully we'll continue on with the discussions of what this  
25 inventory translates to.

1           And that's all I have.

2           EWING: So, we have time for a few questions.

3           Yes, Lee.

4           PEDDICORD: Lee Peddicord, Board member. Jeff, you had  
5 mentioned a couple of cases about the cooling requirements,  
6 particularly for cask canisters and so on. Are all those  
7 natural circulation? Any of them forced circulation  
8 requirements?

9           WILLIAMS: No, they're all natural. And, yeah, the  
10 concrete cask is all natural circulation.

11          RESNIKOFF: Marvin Resnikoff, RWMA. If DOE were to  
12 transfer fuel from a transportable canister to a "tad," or  
13 whatever you call it, a smaller container, where would this  
14 transfer take place? At the repository or at the reactor?  
15 And if it's at the reactor, there are many reactors that  
16 don't have a fuel pool anymore, so how would that be done? A  
17 new fuel pool put in, or is there some other system?

18          WILLIAMS: And I think Rob is going to talk a little  
19 about repackaging; however, that was the exact scenario that  
20 was in the Yucca Mountain license application. And in that  
21 scenario, the objective was to try and put the majority of  
22 fuel in disposable canisters at the utilities, loaded in  
23 their pool. For the fuel that was already in dry storage,  
24 the idea was to transport that to Yucca Mountain and then  
25 open the canisters in a pool at Yucca Mountain. That's what

1 that scenario was. I really couldn't speculate on other  
2 scenarios without a repository or an interim storage  
3 facility.

4 RESNIKOFF: But many reactors won't have a fuel pool.

5 WILLIAMS: Right. Right. And I'm saying the idea  
6 Yucca Mountain was, they would not repackage at their pool if  
7 it was already in dry storage. If it was already in dry  
8 storage, the scenario that was analyzed for Yucca Mountain  
9 would be that dry storage would be moved to Yucca Mountain to  
10 be opened.

11 Now, if it was canisters that aren't transportable,  
12 I'm not sure how it would be handled. All the ones that are  
13 not transportable today have a pool. Whether they will in  
14 2100 or not is a different issue.

15 EWING: Right. Jerry, you had a question?

16 FRANKEL: Yeah. Jerry Frankel, Board. I'm interested  
17 in the design of your certified storage canisters. So,  
18 what's the design life of these canisters, and what are the  
19 design considerations that are life limiting?

20 WILLIAMS: Okay, well, they were originally designed and  
21 certified for 20 years. They've now--NRC has modified their  
22 regulations where the certification is for 40 years and they  
23 can get an amendment for another 40 years, so that's 80  
24 years. You talk to the people that design them, and I think  
25 they talk in the range of 100 or so more years in terms of

1 design life. The rate limiting things are what's being  
2 examined in several different cases within the UFD storage  
3 program, which I think Bill Boyle will talk about on  
4 Wednesday, but it's stress crack and corrosion of the  
5 canisters and so forth. And those are things that are being  
6 examined.

7 FRANKEL: They're all made from stainless steel at  
8 this--

9 WILLIAMS: Well, today they're mostly made from  
10 stainless--they're all made from stainless steel today. I  
11 think some of the earlier ones were some carbon steel.

12 EWING: Okay. We'll have to go on, but after the next  
13 talk we have some time set aside for discussion, so we can  
14 pick up some of your questions then.

15 Yes. Thank you.

16 The next speaker is Robert Howard, Project Manager  
17 at Oak Ridge National Laboratory, and he'll speak to the  
18 issue of implications of repackaging spent fuel from large  
19 dry storage systems into smaller packages for transport and  
20 disposal.

21 HOWARD: Good afternoon. As Rod said earlier today, the  
22 purpose of this workshop is to talk about the implications of  
23 current storage systems on the future waste management  
24 systems. One of the breakout sessions tomorrow is going to  
25 be on the what if scenario. What if we have to repackage all

1 of or some of the current dry storage systems into smaller  
2 canisters? So I wanted to give you some background  
3 information on that so that we could all start off with the  
4 same sheet of paper tomorrow morning.

5           Next slide, please. Jeff already covered this, so  
6 I don't need to say anything more about it.

7           Next slide, please. So, why repackage? Well, what  
8 we need to think about over the next two days is that why,  
9 where, when, and how all matter. And all those will  
10 influence the scenarios and conclusions or issues that we  
11 think about and identify. So, as Jeff just mentioned, there  
12 are about 300 canisters out there in the inventory that are  
13 storage only, so that might be one set or subset of existing  
14 canisters that have to be repackaged just for transportation  
15 if it's not possible to get a one-time exemption for  
16 transportation.

17           And then, of course, repository constraints. We  
18 don't know, although Tito's going to talk about this a little  
19 bit more, whether or not we could actually directly dispose  
20 of these large dual purpose canisters in a geologic setting.  
21 No matter what we do, repackaging would be complicated. It's  
22 going to increase the total fuel handling operations that  
23 have to be performed throughout the waste management system;  
24 it's going to complicate pool operations at operating  
25 reactors; it will increase doses for workers at those

1 reactors. It might be able to manage it a little bit better  
2 at a purpose-built repackaging facility, and we'll talk about  
3 that a little bit.

4           If you were going to do this at a shutdown facility  
5 where there is no pool--this is part of the question I  
6 believe that the gentleman asked a minute ago--it would  
7 require some infrastructure and facility development. And  
8 I'll go through some ideas about that and what some of those  
9 implications would be as well.

10           There's a low-level waste issue that has to be  
11 dealt with. We'll generate a lot of additional waste with  
12 these storage systems if we have to discard them. And what  
13 we may find is that having a purpose-built facility might be  
14 part of a more flexible waste management system.

15           Well, we could reduce the amount of repackaging or  
16 possibly eliminate it. One, we could eliminate it if we were  
17 successful in demonstrating that these dry cask storage  
18 systems are actually disposable. It's not a yes or no, on or  
19 off type of issue; it's not binary. I think there's a  
20 spectrum of things that have to be examined. You may be able  
21 to dispose of a subset of them. We don't know. There's a  
22 lot of work to do in that area. And as Dr. Lyons mentioned,  
23 it's a reason why we want to look at standardization. If you  
24 could do standardization sooner rather than later, you could  
25 lessen the impacts of repackaging. But that's got issues as

1 well.

2           Next slide, please. You just saw a version of this  
3 that Jeff put up. The point here is that if we take the  
4 scenario all the way out to the end of lifetime for all the  
5 reactors, you're looking at about a half a million assemblies  
6 that have to be packaged. That's a large number in my mind.

7           When we do it matters, and how fast we do it  
8 matters. So, if we want very high throughput rates in our  
9 system, we need to consider that as well when we're thinking  
10 about these repackaging scenarios. We may not be able to get  
11 very high repackaging rates if we do it all at operating  
12 reactors or at stranded sites.

13           As Jeff mentioned, no matter what we do, the number  
14 of packages that we ultimately have to dispose of will depend  
15 on the geologic media, the thermal constraints and other  
16 constraints of the system. We could be looking at a  
17 significant number of canisters to dispose of, on the order  
18 of 80,000 if we were to go to these rather small PWR--4-PWR  
19 or 9-BWR canisters. And we use that as a benchmark by-the-  
20 way, because that's about the size of the systems that we're  
21 seeing being contemplated internationally.

22           Next slide, please. So, where repackaging occurs  
23 is going to matter for the transportation system and its  
24 functions and requirements. I did a little peeking at the  
25 staff reading that was handed out earlier today, and there is

1 a flow diagram in that that depicts the waste management  
2 system slightly different than this, but it's the same  
3 concept.

4           We've got a number of different options where we  
5 could do repackaging, either at a reactor or its associated  
6 ISFSI at a centralized interim storage facility. You could  
7 do repackaging at a repository. Each one of those options  
8 will change the posture, or makeup, of your transportation  
9 system. It'll change the number of shipments that you have;  
10 it'll change the kinds and types of transportation packages  
11 that you need.

12           Jeff showed you some of the complexity on the  
13 transportation system already just with the stranded sites.  
14 Well think about that; adding more and different canisters in  
15 there is going to change that even more, and it will also  
16 affect the fleet makeup and size. So, if we were to  
17 transport these smaller canisters one at a time on a single  
18 railcar, obviously that could make the number of  
19 transportation packages that have to be moved from one point  
20 to the other quadruple, or even up to eight times as many if  
21 we went from 11,000 to 80,000, depending on where that work  
22 was done.

23           Next slide, please. So, let's think a little bit  
24 about what the implications are for the regulations that we  
25 have to consider when we're thinking about where we're going

1 to do the repackaging, because if you're going to repackage  
2 and you're going to repackage for a disposal environment, you  
3 kind of need to know where all the regulations lie. So, we  
4 know that Part 20 is going to apply everywhere and we've got  
5 to do our best to make doses as low as reasonably achievable  
6 no matter where it's at. So that's going to be applied  
7 across all repackaging efforts.

8           If you do it at a reactor, then we've got to make  
9 sure that we consider the Part 50 operating requirements on  
10 the repackaging system. If we do it at reactors, ISFSIs or  
11 an ISF, then the design requirements on that canister have to  
12 be considered as well for Part 72, and the disposal  
13 requirements would need to be considered. We can avoid the  
14 Part 71 issue on that package if we did the repackaging at  
15 the repository.

16           Next slide, please. So, throughput is an issue.  
17 My colleagues at Chicago Bridge and Iron did a study recently  
18 where they looked at repackaging operations at operating  
19 utilities and were looking at various throughput rates that  
20 you would need for the entire waste management system. And  
21 what they found was there were some configurations at  
22 operating reactors where if you wanted, say for example, to  
23 achieve a 3,000 metric tonsU per year throughput at getting  
24 spent fuel out of the reactors and into a consolidated  
25 storage facility or a repository, you just can't get there

1 using the current loading practices that we use for these  
2 systems.

3           So, I believe it was several BWR type reactors that  
4 have shared pool facilities you can't get that kind of  
5 throughput that you would need. So that's something that  
6 needs to be considered if you're going to be dealing with it  
7 at a reactor, and it's a system implication. It's not just  
8 an implication for the reactor.

9           Obviously, if you're going to do it at an ESF and  
10 you're going to do purpose-built repackaging facilities, you  
11 can achieve the higher throughput rates, but you may not use  
12 those facilities for an amount of time that is economical.  
13 So, if you went to something like 6,000 metric tonsU per  
14 year, some of your facilities and equipment you may only be  
15 using on the order of 5 to 10 years. That may not be a very  
16 good return on your investment. So there may be a mix and  
17 match scenario out there where, you know, to get a really  
18 high throughput rate and make economic sense, you would need  
19 to do repackaging at several of these different locations.

20           Next slide. This is just a process flow for what  
21 repackaging might entail at an operating reactor. I want to  
22 go through this one in a little bit of detail. I'll note  
23 that we've got process flow diagrams similar to this for  
24 repackaging operations at other facilities, and also whether  
25 it was wet or dry. My colleague Robbie Joseph has got those

1 flow charts, and we'll bring them to the breakout sessions  
2 tomorrow so that if people want more detailed information,  
3 we'll be glad to share what we have in that regard.

4           But, the first thing that I want to point out here  
5 is that if an operating reactor doesn't have room in its  
6 spent fuel pool to do the transfer, the first thing that they  
7 would need to do is make room. So they might, before they  
8 could even start to do a repackaging operation, have to do a  
9 packaging operation to bring enough fuel out of the pool to  
10 make room to do the repackaging. I know I said that a little  
11 bit complicated, but I think you get the gist of it.

12           So, think about it just a second. This first  
13 operation here is just to clear the pool. Now, if you think  
14 about it, where you're trying to unload a 37-PWR canister and  
15 you're going to load it into a 4-PWR canister and you'd need  
16 to create that space in your spent fuel pool, you might have  
17 to--if that's pool's already full, you might have to load  
18 four or five 4-PWR canisters already just to get the space,  
19 maybe more. So that's not a trivial exercise at all.

20           Then, once it's cleared, you bring your disposable  
21 canister into the system just like you would the normal dry  
22 cask storage system, or dual purpose system, set it in there.  
23 You've got to cut open your dry cask storage system. We'll  
24 probably want to do this dry rather than wet. Then, once  
25 it's cut, you would lower it into the spent fuel pool, remove

1 the lids, remove the fuel from the canister, put them in the  
2 racks, take that dry cask storage system out, put your  
3 disposable storage system in, and load the assemblies back  
4 into that, pull it out, put the lid back on it and dry it,  
5 move it out to the pad, or move it out to the railhead or to  
6 a truck to be shipped off to the next facility. Very  
7 complicated.

8           Next slide, please. So, has a lot of impacts on  
9 operating reactor. It's going to impact your resources that  
10 you need for loading; it's going to put demands on all of  
11 your operators, engineers that are associated with spent fuel  
12 pool operations that they didn't have before, so it's going  
13 to change the complexion and makeup of your staffing  
14 requirements.

15           Space and resources are an issue. We talked about  
16 one of those space issues with whether or not you actually  
17 have room in the pool to do this operation without unloading  
18 some fuel first. The low-level waste stream; we'll talk  
19 about that some more later. Radiation exposures are going to  
20 go up. And, with everything else, there's also going to be a  
21 training burden included on this.

22           Next slide. So what about at a shutdown site that  
23 doesn't have access to a pool? What would you do there?  
24 This is just a what if scenario. Well, you could deploy  
25 mobile hot cells. There have been some mobile hot cells

1 deployed in Europe. This is an AREVA design that's being  
2 used in Europe right now not for high-level waste, but I  
3 think for low-level waste.

4 Chicago Bridge and Iron came up with a concept for  
5 a mobile platform that you could use to deinventory these  
6 sites. There's a couple issues with that. Obviously, you've  
7 got to make sure that the operations that you're  
8 contemplating are within the bounds of your safety analysis  
9 for that Part 72 facility. Again, it could impact storage or  
10 transportation operations the same way that any other part of  
11 the repackaging system could. You would probably want to do  
12 these operations if you're going to move from one facility to  
13 the next. You'd want to get it all done at one facility and  
14 then move on to the next facility, so there may be issues  
15 with queuing there and timing to get maximum use out of these  
16 facilities.

17 So when you think about having to go to something  
18 like this, then it really makes a repackaging facility with  
19 some additional flexibilities seem like it might be  
20 appropriate for the waste management system.

21 Next slide, please. So, here's just one concept of  
22 a repackaging facility. This one happens to be a modularized  
23 facility concept designed to move about 1,500 metric tonsU  
24 per year through the system. The design and operation of  
25 this facility would have to conform to Part 72 if it was at

1 an interim storage facility. I believe that's the case. I  
2 hope we can get some discussion on that tomorrow on the  
3 appropriateness of that assumption. And it would have to  
4 comply with whatever the requirements are for a repository  
5 preclosure operation if it was done at a repository.

6           It has some advantages. This one is a wet transfer  
7 system. Whether or not you would actually need this receipt  
8 bay depends on where it's located. You could share that  
9 receipt bay with your other facility. You bring the fuel in,  
10 put it in an air lock. There's a cutting station where you  
11 would cut the lid, lower it into a pool. We've got two  
12 basins here: One for PWRs and one for BWRs. That way you  
13 don't have to necessarily change the grappling devices out  
14 all the time for these two different systems.

15           This one was sized for a 1,500 metric tonsU per  
16 year facility. It was sized to handle about 750 metric tonsU  
17 in the pool, so that would give you about six months of  
18 buffer capacity. So, you could actually do something to  
19 decouple your inputs from your outputs, which could have  
20 advantages, particularly if you're working on doing some  
21 thermal management activities with the assemblies. And then  
22 you would put it into a disposable canister on the other  
23 side, bring it out. We've got some welding stations there.  
24 Of course, this would be--if you wanted to release it to a  
25 transportation system, you would have another high bay there,

1 but you could get rid of that high bay if it was done at a  
2 repository, because you don't have that transportation step.

3           So, that's just one concept. There's many out  
4 there, but it's essentially the same operations that you're  
5 going to have everywhere else. The other thing that you can  
6 do with this is you can do a lot more with remote handling so  
7 that your cutting and welding operations are done remotely.  
8 You're going to significantly manage the total overall worker  
9 dose much more effectively in a purpose-built system.

10           Next slide, please. So, no matter what we do, if  
11 we can't dispose of DPCs, we will have to deal with that  
12 empty shell, and we'll also have to deal with the storage  
13 overpacks. You've got the DPC itself; you've got the shield  
14 plug; you've got lids that you have to deal with; you've got  
15 the internals, the basket assemblies; you've also got a lot  
16 of concrete that you're going to have to deal with as well.  
17 Now, you could probably, if you're going to keep these things  
18 at a reactor and you wanted to load more DPCs--I'm not sure  
19 why you'd want to do that, but you could reuse these storage  
20 overpacks at that facility. I'm not sure that you would want  
21 to take those storage overpacks and move them to a  
22 consolidated interim storage facility. You probably want to  
23 fabricate your overpacks at that facility there.

24           You've also got to deal with the processed waste.  
25 If you do wet repackaging, you're going to have a pool;

1 you're going to have resins and that sort of thing that'd  
2 have to be dealt with, so that's an issue that has to be  
3 thought about as well.

4           Next slide, please. So, did a little bit of  
5 thinking about what this would mean just in terms of the  
6 amount of cost, and this is just a sample calculation to give  
7 you something to think about. But let's just say there's  
8 approximately 350 feet of low-level waste per DSC, so that's,  
9 I don't know, about 25 percent of the volume of an existing  
10 canister system. I guess if you do some minimization and  
11 compacting, you can get that down some. But for disposal  
12 cost range of about 500 to \$1,000 per cubic foot, even if we  
13 just had what we currently have in inventory now, we're  
14 talking about a substantial amount of money, on the order of  
15 350 million to 750 million dollars. This gets into the  
16 billions of dollars if we're looking at trying to deal with  
17 11,000 of these systems out in the future. So, it is a  
18 significant problem. We need to really think about it. No  
19 matter what we do, it exists already down here. It could get  
20 bigger as we all age.

21           Next slide. So, the other thing that we need to  
22 realize is that dealing with these empty canisters requires  
23 facility and equipment. Whether it's at a reactor or at an  
24 interim storage facility or at a repository, we've got to  
25 have facilities, we've got to have people to do the work.

1 There's a transportation interface associated with it to move  
2 the material from your facility out to wherever it is that  
3 you're going to dispose of it as low-level waste.

4           Next slide. So, worker dose. Again, this is going  
5 to vary highly depending on the systems we use, the number of  
6 packages that we have to open, the size of the packages that  
7 we have to replace this fuel in, and where we do it, of  
8 course.

9           Just a little sample here; this was some data I  
10 took from CBI, but, basically, to load the dry cask storage  
11 system, you're talking about half a REM for BWR, about .2 REM  
12 for a P. And they estimated that to repackage that into a  
13 smaller package it was going to be the same dose even though  
14 you've got a smaller package, that--the welding operations  
15 and the closure operations are going to take about the same  
16 amount of time, roughly about the same amount of exposure.  
17 So you're going to increase--since you have to do more  
18 packages, you're going to increase that depending on whether  
19 you're going into a 4 or a 12. Right. If you do it at an  
20 ISF or repository, well, you can manage that a lot better  
21 with remote operations. We talked about that already.

22           Next slide. Cutting technologies. My colleagues  
23 at both AREVA and Chicago Bridge and Iron have been doing  
24 some studies on what's out there, what does it take to cut  
25 one of these canisters open. There's a wide range of

1 technology that's available to us. How you do it, again, is  
2 going to depend on where you do it and why you do it.  
3 Essentially, if you're going to do it at a reactor, you go  
4 with whatever that cask vendor's recommendations are for  
5 cutting. If we're going to do it at an independent storage  
6 facility or a repository repackaging facility, we're probably  
7 right now go dry with skiving. There's a reason that we want  
8 to go dry. You can see here a lot of the milling that's  
9 going on. You don't want that stuff in your spent fuel pool.  
10 That's going to cause a lot of problems. If you can't reuse  
11 the dry storage canister, we might want to look at this wheel  
12 cutting option where instead of cutting off each lid one at a  
13 time, you go below it, cut beneath both lids and the shield  
14 slug, and get at this that way. But that would require some  
15 more R&D.

16           Next slide, please. Just one slide on overall  
17 costs. What I did here was I took some information from  
18 Chicago Bridge and Iron and a study they did, and I  
19 normalized it to the cheapest scenario that they analyzed,  
20 which was a dry transfer scenario at a repository, and then I  
21 unitized it down to one dollar. And, basically, the main  
22 point of what I want to show you here is that two significant  
23 figures whether you do repackaging at an ISF or repository is  
24 essentially the same. The big difference in cost here is the  
25 transportation costs between the two, and that's going to be

1 assumption dependent. When you start backing it up to  
2 reactor sites, those costs can go up significantly if we  
3 don't think about it a lot harder.

4           Next slide. So, it's going to be complicated no  
5 matter what we do. When, why, and how matter, and we should  
6 spend some time thinking about how we can reduce or eliminate  
7 the need to do this.

8           Next slide. I just want to acknowledge some  
9 contributions. We did get some reports from AREVA, and they  
10 had a team from Transnuclear, URS, Dominion Power, and  
11 Coghill Communications that put together some of this  
12 information. Chicago Bridge and Iron had Holtec  
13 International, Exelon, and Longenecker Associates, and then  
14 the Nuclear Fuels Storage and Transportation Planning Project  
15 that had folks from DOE, Oak Ridge, Savannah River, Sandia,  
16 and Argonne.

17           Questions?

18           EWING: Thank you.

19           So, questions?

20           LANTHRUM: Gary Lanthrum from NAC International. You  
21 covered both the worst case and the best case, where the best  
22 case scenario is direct disposal of the current dry storage  
23 systems, which doesn't require any repackaging, and the worst  
24 case is where you have to cut open a whole bunch of dry  
25 storage systems and repackage. You didn't talk much at all

1 about the middle road option where if you had a centralized  
2 facility of some type you could ship bare fuel in bolted lid  
3 transportation casks without going through the cutting  
4 operation. Could you speak briefly to some of the impacts  
5 that that might reduce--and then package into a smaller  
6 canister for whatever your disposal network was requiring.

7       HOWARD: Right. That's a good question, Gary. So, the  
8 implications would be exactly as you say. It's the middle  
9 ground. If we can contemplate a system that includes  
10 transfer of bare fuel in a transportation cask and move that  
11 to an interim storage facility or a repository's bare fuel,  
12 do that repackaging there, obviously that would help this  
13 problem as well as some others. I mean, one thing that you  
14 could accomplish by doing that is you could actually stop  
15 using or limit the use of keep filling up more dual purpose  
16 canisters, and that would help everybody, I think.

17       EWING: Just as a follow-up what's the motivation for  
18 bolting versus sealing the packages? Some are bolted, and  
19 some are welded shut.

20       HOWARD: I believe there are extra inspection  
21 requirements on the bolted systems, and so if you weld them  
22 shut, then you don't have the same inspections for storage.  
23 And if there's a cask vendor out there who wants to say  
24 something different, I would welcome it.

25       EWING: Thank you.

1 Adam.

2 LEVIN: Thanks, Rod. Adam Levin. Bolted versus welded  
3 systems. I think my experience at Exelon tells me that the  
4 bolted systems, from a reactor operator's perspective, is a  
5 nice place to be because you can load a bolted system in a  
6 five-day work week, normal working hours, one shift. Whereas  
7 a welded system's going to take you 7 to 10 days or longer  
8 potentially, so from an operator's perspective, it's  
9 certainly beneficial.

10 EWING: Good. Yeah. But following that, my impression  
11 is the movement is toward welding them shut.

12 HOWARD: Yeah. According to what Jeff said in his  
13 projections, I mean, that's what we're seeing is the welded  
14 system.

15 EWING: Okay.

16 HOWARD: But, I mean, that's between the utilities and  
17 the vendors on why they're doing it. And I think it would be  
18 good to get them up here to tell you about that.

19 EWING: Right.

20 Nigel? Oh, sorry. I didn't know you had the  
21 microphone. Go ahead.

22 MOTE: Just to add a comment about the German utilities,  
23 the German industry, have moved exclusively to bolted casks.  
24 Everything in Germany is bolted, and I believe it is  
25 specifically so that it gives that flexibility, but maybe

1 when we have the last presentation from Thilo von Berlepsch,  
2 he can cull it out and say why the Germans moved that way and  
3 what the implications were and are for long-term storage,  
4 continued storage, and indecision on a repository site.

5 EWING: All right. Thank you.

6 Jean?

7 BAHR: Jean Bahr, Board member. Who is responsible for  
8 the costs and does where the repackaging happen shift those  
9 costs from the plant operators to the disposal operator?

10 HOWARD: I'm sorry, but that's way outside my portfolio.

11 EWING: But, in fact, the packaging onsite, I understand  
12 that to be the responsibility of the utilities; is that not--

13 GUTHERMAN: My name's Brian Gutherman. I think the key  
14 part of the question that Rob said that needs to be  
15 reiterated is if this place has somewhere to go. If you're  
16 talking about taking casks to an ISFSI, bolted casks are much  
17 more expensive than the ventilated systems with welded  
18 canisters; however, if you have a place to go, those bolted  
19 casks can be reused. You take the fuel right out of the pool  
20 so you don't--you kind of stop the hemorrhaging, if you will,  
21 taking fuel to the ISFSI, so that decision is all important  
22 in deciding which way to go. And right now, since there's  
23 nowhere to go, the utilities go with the sealed, welded  
24 canisters.

25 EWING: Okay. Thank you.

1 Other questions? Yes, Lee.

2 PEDDICORD: Yeah. Lee Peddicord, from the Board. You  
3 had mentioned about the AREVA mobile transfer facility, but  
4 it's not yet been sized for spent nuclear fuel. Has AREVA  
5 undertaken any studies of what that facility might look like  
6 in a mobile form to go to stranded sites?

7 HOWARD: Yeah, they have been thinking about it. Sven's  
8 back there; he can probably comment on that one.

9 BADER: Sven Bader from AREVA. We tried, but got  
10 defunded, or not funded I guess is the best way to put it  
11 politely. But, yeah, we are definitely trying to push the  
12 concept further.

13 EWING: Bob, back here.

14 EINZIGER: Yeah. It's sort of a follow-up on this. Bob  
15 Einziger of the NRC. This mobile hot cell, first off, that  
16 looks like a low-level so you don't have nearly the  
17 shielding.

18 HOWARD: Right.

19 EINZIGER: And it also looks like it's picking up  
20 canisters and repackaging in there, and it's not opening  
21 canisters and taking out bare fuel with the associated crud  
22 that could get spread around in the loading that's--so I  
23 don't think it's a good estimate to generalize from this  
24 facility to what you can have if you're going to unload a  
25 regular canister. I think that you're looking essentially a

1 full-fledged hot cell with its massive costs and its massive  
2 decontamination hosts at the very end.

3           But irrespective of whether you're going to  
4 repackage at a reactor or you're going to repackage at your  
5 location where you're getting to--and the last speaker talked  
6 about having these orphan sites that had no pools and had  
7 systems with transportable casks--you still have the  
8 requirement on a transportable cask, because the cask itself  
9 acts as the containment barrier to change the gasket within a  
10 year of when you're going to transport it. So, you're going  
11 to have to have a facility to open that system up at those  
12 orphan sites and change that gasket, and that's something you  
13 need to think about. It's just not a matter of slapping an  
14 impact limiter on it.

15           EWING: Okay. Thank you.

16           You had a question?

17           HOXIE-KEY: I had a comment. Susan Hoxie-Key, Southern  
18 Nuclear. The repackaging is problematic even if you have a  
19 spent fuel pool. In today's plants, the operations are  
20 ongoing almost full time in the spent fuel pools, anyway,  
21 with distributing the assemblies for heat load and preparing  
22 for upcoming outages and carrying on a dry cask campaign.  
23 So, there's not much of an open window then to undertake  
24 significant repackaging activities.

25           EWING: Okay. Thank you.

1 Other questions? One.

2 MAKHIJANI: Arjun Makhijani, Institute for Energy and  
3 Environmental Research. Do we know how many failed fuel  
4 assemblies there are currently in dry storage and how many of  
5 them may be high burnup? And, if so, how are we going to  
6 test out the cask transfer of these for a fuel assembly?

7 HOWARD: Sir, I do not have that number at my  
8 fingertips.

9 MAKHIJANI: But there are a number of them.

10 HOWARD: Yes.

11 MAKHIJANI: I know there are 95 at San Onofre alone. So  
12 there must be in the hundreds at least throughout the nuclear  
13 power plant establishment.

14 HOWARD: Right. I mean, I know that there's high burnup  
15 fuel in some of the stranded sites like at Yankee, but  
16 they're already in damaged fuel canisters.

17 MAKHIJANI: Yeah, but irrespective of number. How are  
18 we going to figure out how to transfer these things from  
19 where they are to where they need to be?

20 HOWARD: That's an excellent question. I mean, I think  
21 that's part of the R&D activities that Used Fuel Disposition  
22 Program is taking on right now.

23 MAKHIJANI: Okay.

24 EWING: And so for questions like that, I'd encourage  
25 everyone to be present at the interactive breakout sessions

1 tomorrow, because this is where we need the collective wisdom  
2 and to see where we have a lack of knowledge or experience in  
3 some of these proposals.

4 Any last questions? Yes.

5 BOYLE: It's not a question, but since we're--

6 EWING: Please identify yourself.

7 BOYLE: Oh. William Boyle, Department of Energy. Since  
8 we're a couple of minutes ahead of schedule--Dr. Lyons, on  
9 pages 14 and 15, mentioned this high burnup demo that DOE is  
10 undertaking, and the draft test plan is available for public  
11 comment. And I'll repeat this on Wednesday at the Board  
12 meeting on that day, but the easiest way to get access to not  
13 only the draft test plan but also a comment forum is go to--  
14 if you have your pen and paper ready--it's [www.ID.energy.gov](http://www.ID.energy.gov),  
15 and that's the home page of DOE's Idaho office. And on the  
16 left-hand side, in red font--it's the only link in red--is  
17 "Public Involvement Opportunities," and with one click it  
18 will take you to that page. And at the top of the page is  
19 the draft test plan and the public comment form.

20 EWING: Okay. Thank you.

21 Another question in the back there?

22 CUMMINGS: Kris Cummings, NEI. Has DOE evaluated the  
23 ability of repackaging on a fuel assembly basis under the  
24 current Part 72 regulatory requirements, whether that's even  
25 possible?

1           HOWARD: Well, as I said during my presentation, I think  
2 that that's a topic for discussion tomorrow. I mean, the  
3 assumption is that it can be done; or at least that's my  
4 assumption, but I'm not the regulator, so I think it warrants  
5 some discussion.

6           EWING: Okay. I want to be sure we have plenty of time  
7 for coffee, so I want to take advantage of the fact we're a  
8 little bit ahead of schedule.

9                        So let's thank the speaker--thank you very much.

10          HOWARD: Thank you.

11          EWING: I'd ask you to be back promptly at 3:30, and  
12 we'll continue. Thanks very much.

13                       (Whereupon a short break was taken.)

14          EWING: The next speaker will be Dr. Tito Bonano from  
15 Sandia National Laboratories, where he is a senior manager.  
16 And the title of his presentation is "Implications of Direct  
17 Disposal of Large Dry Storage System Designs for Repository  
18 Design."

19          BONANO: Thanks, Rod.

20                       The title is a little bit different than what Rod  
21 said, but basically what I'm going to do is share with you  
22 some preliminary results of the evaluation that we've been  
23 conducting at Sandia with cooperation from a number of  
24 colleagues at the other national labs, at DOE, and some  
25 private sector companies to look at the implications of

1 disposing directly of the dual-purpose cask canisters.

2           This is the same caveat that you have heard from  
3 both Jeff and Rob, so I'm going to move on.

4           As I said earlier, the work is being led by Ernie  
5 Hardin at Sandia, and Ernie is in the audience; Rob Howard,  
6 John Scaglione, and other colleagues from Oak Ridge; some  
7 colleagues from Lawrence Livermore National Lab; Savannah  
8 River; Tom Cotton is here from Complex Systems Group; Charles  
9 Fairhurst, University of Minnesota; and Bill Spezialetti and  
10 Bob Clark from DOE. So this is a--I got the opportunity of  
11 sharing with you the work of everybody else.

12           And, by the way, the Board had heard some time ago  
13 a presentation from Bill Boyle on the same topic. Bill  
14 describes it at a 30,000-foot level. This might be the  
15 10,000-foot level, but we still are doing some more work.

16           I think the important thing to start with is that  
17 the direct disposal of very big canisters is not a new  
18 concept. In the 1990s DOE looked at the possibility of  
19 disposing of this. There were some preliminary analyses.  
20 They were then discarded. The concept was not further  
21 studied. During the days of the development of the Yucca  
22 Mountain license application, there were a couple of studies,  
23 one by Bechtel SAIC around ten years or so ago, that looked  
24 at the disposal of very large canisters. The study  
25 determined that the biggest issue had to do with postclosure

1 criticality, so we'll be revisiting that as well.

2           In about 2008 EPRI did a study of the disposal of  
3 existing DPCs up to about 32 PWR assemblies. The study again  
4 looked at thermal issues and criticality and determined that  
5 at the time there didn't seem to be any technical impediments  
6 to the direct disposal of DPCs, but still further studies  
7 were needed.

8           Other national programs are looking at direct  
9 disposal. Germany is looking at the possibility of the  
10 disposal of a 10 megaton canister, and I hope our colleagues  
11 from Germany will talk a little bit about that. So this is  
12 another concept that is new, and other national programs are  
13 exploring it as well.

14           Some of the assumptions--the outline for the  
15 presentation, we're going to talk about the approach and  
16 assumptions. We're going to look at the main three issues  
17 that we see right now as being implications for the direct  
18 disposal of DPCs: thermal management, postclosure  
19 criticality control, and engineering challenges of actually  
20 handling these big casks.

21           We're going to talk a little bit about some  
22 preliminary results of disposal concepts; we'll talk about  
23 some thermal management results as well as criticality; and  
24 at the end we'll talk a little bit about some logistical  
25 analysis that we've looked at as to how fast can we actually

1 dispose of the entire inventory under the assumption that  
2 everything is loaded into the big casks. And then we'll wrap  
3 it up with some summary and conclusions.

4           Why evaluate the technical feasibility of direct  
5 disposal of these large dual-purpose canisters? I think Rob  
6 did an excellent job of covering this issue, so I am not  
7 going to continue to basically repeat myself or repeat what  
8 he said. But I think there are some reasons why we want to  
9 do that.

10           This chart is one that I think Tom Cotton, who is  
11 in the audience, refers to as the obstacle course for direct  
12 disposal of DPCs. And what you have here is a number of  
13 questions that we've been asking as to whether or not we can  
14 actually dispose of these big honkers, as I call them.

15           The first one is: Can it be transported out of the  
16 site, the reactor sites, without being reopened? If the  
17 answer is no, then we talk about potentially the need for  
18 repackaging.

19           The question is, okay, if we can transport them,  
20 can we actually physically emplace them in the repository?  
21 The question. Some of this, when we look at the actual cask  
22 with the overpack, the shielding, the cart, if you were to  
23 put it down a vertical hoist, you're talking about 175 to 180  
24 metric tons. So that is a very, very heavy load.

25           Can we actually emplace them in the repository? If

1 the answer is no, then do we need to repackage?

2           Can we meet the thermal limits? Can we respect the  
3 thermal limits of the geologic formation, the repository, and  
4 of the fuel itself? And, again, if the answer is no, do we  
5 need to repackage?

6           And then can we address criticality? Can we meet  
7 the postclosure criticality requirements? Assuming that the  
8 answer is yes and we go down these purple boxes, then there  
9 is a preliminary assumption as to, yes, we possibly could  
10 dispose of these large casks, directly dispose of them. Then  
11 we will need to look at some generic repository options for  
12 direct disposal and do we need to incorporate this  
13 disposal--the characteristics of these big disposal canisters  
14 into siting and repository development plans.

15           So those are some of the issues that may affect. I  
16 think this presentation is going to be looking at primarily  
17 the three issues here: Can we physically emplace them, can  
18 we manage the thermal limits, and can we deal with  
19 postclosure criticality?

20           The scope of the study is a multi-year project,  
21 starting in FY12. The results that I'm sharing with you this  
22 afternoon are basically the results that we've gotten through  
23 about a month or so ago. As I said earlier, this is  
24 primarily concentrating in looking at the potential technical  
25 issues. We do not address regulatory or public acceptability

1 issues, so we are looking at the technical issues. We are  
2 addressing--of course, we are not going to dispose of them if  
3 they're not safe, so basically we'll concentrate on  
4 engineering feasibility, thermal management, and criticality.

5           The goal of the approach is to map disposal  
6 concepts to existing DPC inventory. And, frankly, one of the  
7 things that we may come up with that not all DPCs may be  
8 disposable. It may be a function of geologic setting. It  
9 may be a function of high burnup rate fuels. It may be a  
10 function of the cask, you know, DPCs. Some of them go as  
11 high as 36, 37 PWR assemblies. So there are a number of  
12 issues there, and it's quite possible that as a result of  
13 this mapping what we end up getting is a combination of  
14 direct disposable of DPCs and repackaging into some purpose-  
15 built canister.

16           So the question is still unanswered, and that's  
17 what we hope to get out of this approach.

18           We want to identify what are the potential R&D  
19 activities that we need to address to really come up with a  
20 definitive answer. And at each stage of the process, each  
21 phase of the project we're doing an iterative analysis, so  
22 each step of the process we're going to look at where we are  
23 today with respect to answering the question: is it  
24 technically feasible? If it is, what other studies are  
25 needed?

1           As I mentioned earlier, we have a number of  
2 participants from the used fuel disposition campaign, from a  
3 number of the labs as well as universities and private sector  
4 companies. We continue and we'll look forward to external  
5 interactions like this and others to present our results of  
6 our studies.

7           A number of key technical assumptions for the  
8 analysis. First of all, we assume that we will complete  
9 disposal operations--I mean, we permanently close the  
10 repository, we have emplacement of waste, we have ventilated  
11 if ventilation is needed, and we have closed the panels--no  
12 more than 150 years of the fuel being out of the reactor.  
13 This assumptions is--the fact that we probably will have to  
14 store above ground for 50 to 100 years, and then we'll have  
15 another 50 years of repository operations.

16           We are also assuming that the fuel and canister  
17 conditions will be suitable for transportation and disposal  
18 for up to 100 years out of reactor. As was mentioned in the  
19 previous talks by both Jeff and Rob, the issue of whether we  
20 can transport this--this package is still a question.

21           We assume that the canistered spent fuel will be  
22 placed in disposal overpacks. And being that we still do not  
23 have a regulation, we're assuming that it's going to be a  
24 risk-informed regulation along the lines of 40 CFR 197 and 10  
25 CFR Part 63. So basically what that means is that we will

1 assume probabilistic assessment of features, events, and  
2 processes.

3           The last assumption is that, based on the technical  
4 report that we did for the Yucca Mountain license application  
5 regarding criticality, that we will be able to screen  
6 criticality on the basis of either low probability or low  
7 consequence arguments.

8           So the first results that I'm going to share with  
9 you have to do with the thermal management. And in the left-  
10 hand side here what you see are the different (inaudible)  
11 that we kind of turn to do the analysis. So we looked at--  
12 and, again, we assume that it was a package, a 32-PWR  
13 assembly, burn level of about 60 gigawatt per day per metric  
14 ton, so that's high burnup. We assume that we have 50 years  
15 of surface decay above--decay storage above surface and that  
16 we ventilate the repository for about 50 years. The spaces  
17 between the packages was 20 meters, and the drift spacing was  
18 70 meters.

19           The main driver here, as you can see from these  
20 results, is the thermal conductivity of the rock. So you see  
21 a salt with a thermal conductivity of 5 watts per minute is  
22 basically shown here with the black curve. If we decrease  
23 the thermal conductivity, which is pretty close to what it is  
24 for sedimentary rock, to about 1 watt per meter per degree,  
25 you see this red curve here.

1           The jumps in the curves that you see here is about  
2 the time of emplacement; it's about 50 years. And this big  
3 jump here you see is about 100, 150 years at the time of  
4 closure.

5           We also looked at the repository spaces. What we  
6 find there is that it's not quite as important as thermal  
7 conductivity, but the spacing between packages is a little  
8 more important than the spacing between the drifts, and it's  
9 a little bit more important than the diameter of the drifts.

10           The main driver here is thermal conductivity. If  
11 we use backfill, then the backfill material has very, very  
12 low thermal conductivity. So, as a result of that, you're  
13 going to get higher and higher temperatures.

14           Criticality control, basically the main driver is:  
15 Can we get water as a moderator? And basically this analysis  
16 was using the results of the study done by John Wagner back  
17 in about 2001 where we looked at the disposal environment,  
18 availability of water, the presence of chloride in the  
19 groundwater--because if you have a lot of sodium chloride, it  
20 serves as a moderator--as basically the integrity of the  
21 overpack in the package.

22           We also looked at the possibility of whether or not  
23 we can add fillers through basically the (inaudible holes in  
24 the packages, and we assume that the burnup credit, as-  
25 loaded, were based on reactor operations.

1           What this chart shows you is that the peak  
2 radioactivity will happen in about 25,000 years. And, again,  
3 we're looking at a moderate burnup rate of 40 gigawatt per  
4 day per metric ton at 32-PWR assembly cask. And this is a  
5 plot of the K-effective versus Time. So the peak activity  
6 will be about 25,000 years.

7           Engineering challenges. We assume that we will be  
8 able to handle the fuel and the packaging using current  
9 practices. We have examined a number of different concepts  
10 for basically the underground operations. We looked at a  
11 heavy shaft hoist. Here is a concept that is being explored  
12 by DBE for an 85 metric ton weight. This spiral ramp, which  
13 is basically the process being used by SKB at the Aspo site,  
14 a linear ramp--this is a computer-simulated design used by  
15 Andra for the repository--and a shallow ramp.

16           We looked at opening stability constraints. Salt  
17 is fairly stable for a few years with fairly minimal  
18 maintenance. You can go to hard rocks. It could be 50 years  
19 or longer in terms of the stability of the openings. And for  
20 sedimentary rocks, depending on the geologic setting, maybe  
21 either 50 or longer years may be feasible. So this is an  
22 area that we are still researching.

23           The next set of slides what I'm going to do is I'm  
24 going to give you some ideas of some of the disposal concepts  
25 that we have been looking at. This one is primarily a salt

1 disposal where the packages are laid horizontally. We use  
2 crushed salt as backfill. So, basically, when (inaudible) in  
3 salt, we take the material from one drift and use it as a  
4 backfill for the other. It could be used in either bedded or  
5 domal salt. We're looking at emplacing the waste 50 to 70  
6 years out of reactor, and we're looking at a potential  
7 payload for transportation of about 175 metric tons.

8           Basically, we looked at a DPC that is loaded about  
9 50 metric tons. The overpack increases to about 70 to 80  
10 metric tons; and when you add the shielding, you're looking  
11 at about 150 metric tons and then the cart. So when you pile  
12 all that together, you're looking at a total weight of about  
13 175 metric tons. Basically, what we're doing here is put in  
14 the packages horizontally and take advantage of that for the  
15 heat transfer capabilities of the salt. And you're looking  
16 at spacing between drifts of about 30 meters.

17           So when we assume that we have about 10,000  
18 packages of these large DPCs, based on some of the  
19 projections that Jeff shared with your earlier, by about the  
20 year 2060 you're looking at a repository area of about 9  
21 square kilometers with about 300 kilometers worth of drifts--  
22 so that's the size of the repository. For 10,000 packages  
23 you're looking at about 9 square kilometers in the terms of  
24 the areal extent of the underground.

25           Hard-rock concept unbackfilled, this is actually

1 quite similar to the disposal concept that was considered for  
2 the Yucca Mountain license application. We're looking again  
3 at emplacing spent nuclear fuel at 50 to 100 years out of  
4 reactor, ventilate for up to about 50 years, so basically  
5 we're looking at permanent closure about 150 years or less.  
6 For unbackfilled saturated setting, this may be the best  
7 design concept, because it allows us to ventilate quite  
8 effectively.

9           It may require additional engineered barriers to be  
10 installed. For example, in the Yucca Mountain license  
11 application, DOE was proposing to use drip shields, and it  
12 provides some long-term opening stability. For this case,  
13 for about 10,000 packages, we're looking at a repository area  
14 of about 14 square kilometers with about 200 meters of drift  
15 space--disposal drifts.

16           If we actually go to saturated conditions,  
17 including backfill, then we look at potential temperatures  
18 much higher than 100°C. So we're starting to see some real  
19 impact from whether or not we put a backfill--we backfill the  
20 drifts. And, again, as I showed you earlier, the reason for  
21 that is because the backfill materials which seem to be  
22 granular has a much lower thermal conductivity than some of  
23 the host rocks do.

24           The next concept we looked at is a sedimentary rock  
25 with both open and backfilled concept. Again, we looked at

1 emplacement of the fuel about 50 to 100 years out of reactor.  
2 We looked at some potential flexibility that may be offered  
3 here, combining functions of storage and disposal. Again, as  
4 I said just a few minutes ago, with backfill we're looking at  
5 peak temperatures exceeding 100°C. It will take to  
6 permanently close a repository anywhere from a 100 to 200  
7 years, depending on the burnup rate for the fuel that is  
8 being stored. And this is a big consideration as the  
9 utilities continue to load the casks with higher and higher  
10 burnup rates.

11           And you're going to see a chart that I'm going to  
12 share with you in a few minutes here about the impact of  
13 burnup rate as a function of the different sedimentary rocks,  
14 when we can start loading the--emplacing the fuel in the  
15 repository.

16           One of the big characteristics of this particular  
17 concept is the large spacing in between the drifts. This has  
18 to do with managing the thermal issues as well as preventing  
19 intersection of the drifts with some water bearing features  
20 of the geologic medium. In this case, for about 10,000  
21 packages, you're looking at a repository areal extent of  
22 about 20 square kilometers. So, again, if you look at salt,  
23 there's about 9 square kilometers. If you look at hard rock,  
24 you're looking about 14 square kilometers. When you look at  
25 sedimentary rock, you're talking about potentially 20 square

1 kilometers for the areal extent of the underground. So  
2 you're looking at perhaps even doubling the size of the  
3 repository site.

4           This is a concept that we have not studied in  
5 detail, but we included it in this presentation for the sake  
6 of completeness. Some countries--I think primarily the  
7 Japanese, I think Germany--may be also considering the  
8 potential of having a combined storage and disposal concept  
9 on their underground where the DPCs and packages are stored  
10 vertically in these very, very large drifts. Basically what  
11 happens is you have very large galleries for extended storage  
12 with ventilation exceeding 100 years. Again, this is a  
13 concept unsaturated settings may be preferred but not  
14 necessarily required, and may be the preferred way of doing  
15 it because of the ventilation capabilities, and we will have  
16 to install some engineered barriers at closure.

17           Like I said, we haven't started looking at this  
18 concept. We haven't analyzed it in as much detail as the  
19 previous three, but we threw it in here because it is a  
20 concept that some other countries are considering.

21           So having said all of this, this is a plot of the  
22 kilowatt power--the power of the representative 32-PWR  
23 canister as a function of time, panel closure time. And what  
24 you see here is different burnup rates. The dark curve here  
25 is about 20 gigawatt days per metric ton going all the way to

1 60, which is the solid black curve here. The center lines  
2 represent the hard rock open concept, and the bottom green  
3 line is about 10 meters of waste package spacing, and the top  
4 one is about 20. The blue line represents the salt concept  
5 with a 30-meter spacing between the waste package, 30-meter  
6 drift spacing. The magenta line is sedimentary unbackfilled  
7 site geology, and the red line is the backfill concept both  
8 for hard rock or sedimentary rocks.

9 I think that what's demonstrated here is it tells  
10 us how quickly we could emplace and close the panel as a  
11 function of burnup for the different types of disposal  
12 concepts. For example, if we have a backfill concept,  
13 whether it's hard rock or sedimentary, it's going to take a  
14 long time before we can close that disposal facility  
15 independent of the burnup rate. For a salt repository for a  
16 20 low burnup rate case, you're looking about maybe 10 years  
17 or so. For the high burnup rate, you're looking about a  
18 little bit over a hundred--almost a hundred years.

19 So it gives you an idea of how quickly we could  
20 start emplacing waste in a repository as a function of the  
21 geology, as a function of the spacing of the waste packages,  
22 and as a function of the burnup. And this is for a 32-PWR  
23 size assembly, so I think it goes back to some of the  
24 statements that Rob made in his presentation about how long  
25 we need to let it sit either at a storage site or the reactor

1 site before we can dispose.

2           The approach we use for postclosure criticality  
3 analysis for direct disposal of the DPCs, first of all, if  
4 there is no flooding, we cannot have criticality taking  
5 place. We have a moderator exclusion by making sure that  
6 they're looking at the integrity of the disposal overpack,  
7 and that becomes one of the most important characteristics.

8           Moisture is not present in some disposal concepts  
9 or is very little, and groundwater has some dissolved species  
10 that may absorb neutrons or displace the water. The neutron  
11 absorbers could be chemically and mechanically degraded on  
12 long-term exposure to groundwater, and we have both the  
13 absorber and the basket degradation--the basket degrading.  
14 Those are the cases that we looked at, which is very similar  
15 to the analysis that we did for the Yucca Mountain license  
16 application.

17           These are not necessarily realistic assumptions,  
18 but at this time it's the best we can do--that we've been  
19 able to do. One of the things that we have not considered is  
20 the presence of corrosion products.

21           One of the things really quickly here, we have  
22 flooded casks--37 canisters with intact configuration. If  
23 you look at the big arrows, basically what we have here in  
24 the solid black curve is when we have lost the absorber. In  
25 the red dotted curve here is when we have both the loss of

1 the absorber, and we have degraded basket configuration. So  
2 it tells you how these things happen, how the likelihood for  
3 criticality increases. The small arrows going down basically  
4 shows the effect of adding sodium chloride.

5           Very, very quickly since my time is running out, we  
6 started looking at the logistics assumptions for different  
7 disposal scenarios. Basically what we have done is assumed  
8 that spent nuclear fuel will be generated at all operating  
9 reactors with 25-year life extensions and a gradual increase  
10 in burnup. We will put it in dry storage as plants are being  
11 shut down. The shipment of direct disposal from reactor  
12 sites to a centralized interim storage facility would begin  
13 in 2025, and the repository will start emplacing DPCs around  
14 2048. And these are basically the same dates that are in the  
15 administration's strategy with respect to the back end of the  
16 fuel cycle.

17           We would also assume that once the repository is  
18 operating, the DPCs will be cool enough for disposal and can  
19 be shipped from the reactors directly to the disposal site or  
20 from the central interim storage facility.

21           What this chart basically shows is two charts here  
22 and the number of canisters per year that we can dispose of  
23 and the amount of spent nuclear fuel in terms of metric tons  
24 of heavy metal per year of how quickly we can dispose. And  
25 basically what it shows is that at the current rate for PWR

1 assemblies, by 2031 we will be almost done. If we were to  
2 repackage and we were to increase the throughput, these  
3 yellow and blue bars basically show that we can finish a  
4 little bit earlier.

5           So, to summarize, this is our preliminary technical  
6 evaluation of the direct disposal of the DPCs. We've looked  
7 at thermal criticality and engineering challenges for  
8 different disposal concepts. We have looked at some examples  
9 of potential disposal concepts for salt, hard rock, and  
10 sedimentary rocks. We've looked at the thermal results show  
11 that depending on the formation and the burnup rate, we can  
12 close the panels--the repository permanent closure--at 150  
13 years or less out of reactor. For sedimentary rock settings  
14 and the higher burnup rate fuel, we have a little bit more  
15 challenges in terms of we may need to have some combination  
16 of longer repository operations and being able to increase  
17 the heating of the host rock more than 100°C and larger  
18 repository spacings. And the adding of backfill basically  
19 will increase the temperature significantly.

20           That's pretty much it.

21           EWING: Thank you.

22           BONANO: Thank you.

23           LANTHROM: Thanks, Tito. Gary Lanthrom again from NAC.  
24 You talked about the detrimental effect of using backfill,  
25 reducing your thermal conductivity. Have you looked at all

1 at using engineered backfills like clays doped with carbon or  
2 with graphite that would significantly increase the thermal  
3 conductivity?

4 BONANO: It is one of the areas, Gary, that I think--is  
5 Ernie here? Yeah, it's one of the areas that we are planning  
6 on pursuing this coming fiscal year. It's in our R&D plan.

7 EWING: Okay, thank you.

8 Jerry?

9 FRANKEL: Jerry Frankel, Board. So when we talk about  
10 the corrosion allowance overpack, are you talking carbon  
11 steel, or do you--what's being--

12 BONANO: Yes.

13 FRANKEL: So have you considered the thickness of a  
14 carbon steel overpack that would be required and the weight  
15 of such a large structure, a thick overpack on such a large  
16 structure, what would that be?

17 BONANO: Not to the best of my knowledge, but, Ernie, do  
18 you want to address that a little bit better?

19 HARDIN: Ernie Hardin, Sandia Labs. Yeah, the--okay,  
20 DPC is loaded up with fuel weigh up to about 50 metric tons.  
21 The addition of 5 centimeters of steel all around that as an  
22 overpack would add about 15 to 20 tons. And, of course, you  
23 can scale up from there if you want a thicker one, thicker  
24 overpack. And carbon steel and most of the other materials  
25 that you might consider for such an overpack all have about

1 the same density.

2 FRANKEL: And how long does 5 centimeters last in salt  
3 burn?

4 HARDIN: Well, our concept of a safety case for that  
5 concept is that we're looking for hundreds, maybe a few  
6 thousand years of performance out of that. It would serve to  
7 mechanically support the canister during transport and  
8 emplacement operations, and then it would provide some  
9 containment integrity through the life cycle of the  
10 repository underground facility. And after that we would not  
11 rely on it for postclosure safety. It also serves as a  
12 water-getter.

13 EWING: Yeah, right. So would there be engineered  
14 barriers? I mean, would the waste package matter with this  
15 thinking? Sorry, Rod Ewing, Board.

16 HARDIN: Okay, Ernie Hardin again. You might have gone  
17 just beyond the detail of our concept. Possibly. You know,  
18 WIPP has an engineered barrier. The current regulations  
19 would require that we have an engineered barrier, and there  
20 would be multiple barriers in that repository.

21 EWING: But, of course, WIPP is for something very  
22 different than spent fuel.

23 HARDIN: Yes. Yes.

24 EWING: Yeah. Okay. Another question here.

25 PEDDICORD: Yes. Lee Peddicord from the Board. In your

1 slide on the panel closure time. It was number 16 on your  
2 presentation. But I wondered how sensitive are the curves to  
3 your drift spacing parameter as you stretch those out a  
4 little bit more? Do you see a big sensitivity to the panel  
5 closure time?

6       BONANO: Okay, so here, basically if we look at the two  
7 green curves, okay, this one is--the top one here is when the  
8 waste package spacing is twice as big as the one in the  
9 bottom here. Here is 20 meters between waste packages, and  
10 here is 10 meters. Remember when I said earlier when I was  
11 talking about the chart that has the thermal conductivity  
12 effect, the spacing between the waste packages is a little  
13 bit more important than the spacing between the drifts, which  
14 is a little bit more important than the diameter of the  
15 drifts. So when you come to spacing, the main parameter,  
16 other than thermal conductivity, is the spacing between the  
17 waste packages, based on the analysis that we've done so far.

18       EWING: Another question? Jean?

19       BAHR: Jean Bahr from the Board. How does the make-up  
20 of the overpack in the packages affect sort of the long-term  
21 stability of the waste, whether you have some sort of  
22 backfill within that overpack or whether that's just an air  
23 gap or in terms of looking at a long-term repository  
24 performance and what does that do to the stability of the  
25 waste form?

1           BONANO:  So basically what you have is a DPC with a  
2  disposal overpack, and the disposal overpack is the main  
3  interface between the waste form--let's put it that way--  
4  which is what you put in the underground and the surrounding  
5  rock.  Okay?  So the main interface is, what will be in touch  
6  with the geology, whether you have a backfill or not, is  
7  going to be the disposal overpack.  So there is no backfill  
8  inside the DPCs.  Is that--if I understood your--

9           BAHR:  Yes.  And I guess my question is:  Does the lack  
10 of anything within that have some effect on how the waste  
11 form will behave if it's sitting in a hundred percent water  
12 rather than sitting in contact with the rock?

13          BONANO:  Yeah.  And one of the things that I mentioned  
14 is from the point of view of criticality is that one of the  
15 ideas that is being considered whether we can load through  
16 the watering holes in the DPC loaded up with fillers.  We  
17 don't know what the effect of that was.

18                 About 10 years or so ago--and Brady Hanson from  
19 PNNL is here.  About 10 years or so ago PNNL did an analysis  
20 of basically putting, I think it was, concrete grout inside  
21 this waste package.  They were looking not for disposal; they  
22 were looking for transportation.  And if I remember  
23 correctly, one of the things that came out of that was that  
24 it was prohibitive in terms of the weight that it added by  
25 adding those fillers.

1           But it is one of the things that I think I showed  
2 in one of the slides--and I was going fairly fast--that we're  
3 looking at whether loading them up with--but we're looking at  
4 it primarily from a criticality perspective.

5           BAHR: Right. And I was asking less about criticality  
6 and about the release over longer periods of time from the  
7 waste form.

8           BONANO: We haven't looked at that, no.

9           EWING: All right. We should move along, but thank you  
10 very much, Tito.

11           So from the next speaker, Dr. Thilo von Berlepsch,  
12 we'll get the international perspective, particularly from  
13 Germany. He works with the International Cooperation  
14 Department of DBE Technology.

15           VON BERLEPSCH: Thank you very much for the  
16 introduction, and also thank you very much for giving me the  
17 opportunity to present to you the German nuclear waste  
18 management program. And, as you already said, the  
19 international perspectives mainly concentrate on the German  
20 program. And for one reason this is because I am German so  
21 it's a bit easier for me to talk about this. And, secondly,  
22 I think, at least in my humble opinion, we've got a pretty  
23 good developed program. So I am very happy to show it to  
24 you.

25           It's always good to get a bit of context when we

1 talk about programs which are not very familiar to you. This  
2 is why I want to start talking about the history of our  
3 nuclear program--of our nuclear waste program. In fact, it  
4 started almost exactly 50 years ago when the decision was  
5 made to go into deep geologic repositories for radioactive  
6 waste, and already at that time we decided to preferably go  
7 to salt repositories.

8           Shortly after the work at the Asse mine in Germany  
9 started, this is a research mine where all of the knowledge  
10 was developed which we are using now for the development of  
11 our program. You might have heard about the Asse mine.  
12 People now say a lot of mistakes have been made, and I must  
13 say, yes, of course, they have been made because nobody knew  
14 exactly beforehand what to do in a mine. So we really  
15 learned quite a lot of these things and especially, I think,  
16 the colleagues from working for the WIPP repository--the  
17 results which have been made there.

18           And then afterwards we even operated some mines in  
19 the deep geological formations. The ERAM, the Morsleben  
20 mine, is in the former East Germany; and the Konrad iron mine  
21 was started to be developed in the '70s, and right now it's  
22 under construction. A very important milestone was in the  
23 end of the '70s when the regulators decided to put a new  
24 license condition on the nuclear power plant operators, and  
25 that is they had to prove that they survey for repository of

1 nuclear waste. And this had two impacts, so to say.

2           On the one hand, it gave the possibility to the  
3 anti-nuclear groups to really find a new field of activities.  
4 They saw that the operation of nuclear power plants were  
5 fairly safe, at least in Germany, and now they found  
6 something where there is no solution yet. So this is why  
7 there was a very big opposition on repositories in Germany,  
8 and even the Green Party have got their roots here, which is  
9 also the problem when you go further down. I won't go into  
10 too much detail there, and all the troubles we've got in  
11 Germany with politics right now I think have got their cause  
12 up here.

13           The second good thing or the second important  
14 thing--it's a good thing, to be honest--the operators were  
15 forced to really develop some solutions for the final  
16 repository of nuclear waste. And this is when all the  
17 programs started to become more serious, so there were  
18 companies formed to work on the programs, and especially the  
19 work on the Gorleben salt mine started, which is now under  
20 big discussion unfortunately.

21           But this is very broadly the context of our nuclear  
22 waste program in Germany.

23           Before I go now into more details, I'd like to  
24 discuss with you some assumptions and definitions. I already  
25 notice that the term borehole concept is seen quite

1 critically, at least by some of you people. When I would  
2 talk about borehole emplacement, that doesn't mean the deep  
3 geological boreholes. It is more a borehole within the mine  
4 just to use a certain engine. So, for example, Konrad has  
5 got a depth of homogeneous soil to almost about 3 kilometers,  
6 so when you have just one level of the mine repository, it  
7 just makes sense to go a bit deeper in boreholes to emplace  
8 the casks.

9           Then there are different types of casks we are  
10 talking about in Germany. The most famous ones, at least in  
11 Germany, are the CASTOR one, which was already mentioned  
12 today here, for transportation and storage and the POLLUX  
13 cask, which is a brother to the CASTOR and which is licensed  
14 for transportation or disposal. It's not licensed yet. The  
15 work stopped since the work in Gorleben stopped. Further  
16 casks are the BSK, Brandschutzkleber, it's called, so this is  
17 a small canister for the borehole concept. And we've got  
18 some casks and canisters coming from the reprocessing  
19 facilities, mainly from France and the U.K. coming back to  
20 Germany.

21           And when I talk about conditioning, I mean  
22 preparation for disposal. That means all the things you have  
23 to do when you want to put your cask finally into the  
24 repository.

25           And then the final thing is DIREGT, just to mention

1 it. I will go into detail that this is a direct disposal of  
2 the transport and storage casks, CASTOR.

3           When we're looking at spent nuclear fuel management  
4 in Germany, like always there are two different fruits in  
5 principle. And the one is going via reprocessing, and this  
6 was formerly the only way up until the '90s, while the direct  
7 disposal option, which means direct disposal of the fuel  
8 elements, is now the exclusive way to dispose of nuclear  
9 fuel. This option was allowed in the '90s, but people have  
10 been working on it obviously quite some time before.

11           In Germany we've been forced to work very early on  
12 the final repository program and also on the management of  
13 nuclear waste, and I think this is why we've got some  
14 advantages, at least now, and the concept was always to go  
15 via some kind of preparation for disposal and to the disposal  
16 facility. And that is why, for example, we designed all the  
17 program to have, for example, transport canisters and storage  
18 canisters at the same time, so we don't have the issues of  
19 just having storage canisters at the nuclear power plant  
20 sites, which you then have to repack somehow or have to  
21 handle it in a different way.

22           This now introduces into the main concepts we've  
23 got, and there is lots of good work done by all the  
24 institutions in Germany, which mainly focused on the Gorleben  
25 site and its called preliminary safety analysis of Gorleben.

1 And most of these issues I will be talking about are captured  
2 there as well. Unfortunately, this is only in German, the  
3 safety analysis, but they will be in English, and some will  
4 be available hopefully by the end of this year for those of  
5 you who are interested in it.

6           And this safety analyzes and summarizes mainly the  
7 reference concept, and this is a concept we've been working  
8 on from the very beginning of our nuclear waste program. The  
9 reference concept is put at the nuclear power plant all the  
10 waste into CASTOR casks, transport them into an interim  
11 storage site, where then the fuel elements will be  
12 disassembled, put into the POLLUX casks, and then transported  
13 downwards and be emplaced there.

14           Additional concept is--this concept, by the way, is  
15 completely demonstrated, so we've built all the equipment,  
16 all the (inaudible). Even the hoisting system was developed  
17 and tested several times. And so I would say this  
18 emplacement is demonstrated. The one for boreholes is also  
19 pretty much been demonstrated, apart from the fact that we  
20 didn't have drilled the boreholes in the mine, but the  
21 emplacement procedure itself was tested at least.

22           So it starts quite similarly. You've got the  
23 CASTOR casks; the fuel elements will be disassembled and then  
24 put into a much smaller BSK canister. Because it's much  
25 smaller, the shielding is not as good as in the case of the

1 POLLUX canister, and that's why the transfer cask is needed  
2 to put it down into the repository. The advantage is that  
3 the transfer cask can be reused again, and we need a lot  
4 space with these smaller canisters.

5 Over the last years--and this has been just  
6 addressed by Tito--we also have been working on the direct  
7 disposal. That means direct disposal of the transport and  
8 storage carts into the repository. But here only paperwork  
9 has been done so far.

10 So let's start with the reference concept of the  
11 repository design. The mine itself has been completely  
12 designed. This is, by the way, the Gorleben site with the  
13 salt dome, the homogeneous part of the salt dome here. Here  
14 you can see the two shelves, which are already existing and  
15 which are built. And on top of this level, there is--how to  
16 say--a test drift already built to see how the ground looks  
17 like. All this is done in about 900 meters depth.

18 We will use the CASTOR cask for the transportation  
19 that's already set. There was a discussion earlier on the  
20 bolts. You can see here that the CASTOR cask actually really  
21 uses for closing the cask bolts for both the inner lid as  
22 well as for the outer one. And to the best of my knowledge,  
23 this was developed before my time, to be very honest, and  
24 this was done to really keep the flexibility and especially--  
25 and people already knew that the CASTOR cask was supposed to

1 be opened again, and the fuel elements were to be taken out  
2 and put into the POLLUX container, so people thought of a way  
3 of easily closing the cask and opening up again for the later  
4 processes.

5           And this is the storage configuration. It looks  
6 pretty similar when the CASTOR is transported. It only puts  
7 some numbers on both ends of the CASTOR. And, just for  
8 information, this CASTOR weighs about 120 tons.

9           So when this is filled and then transported towards  
10 the repository site, then it was supposed to in the very  
11 beginning have a conditioning plant and at least near the  
12 repository. And, again, like the sometimes crazy Germans  
13 are, the date of complete pilot conditioning plant, which can  
14 do all the processes and handlings which are necessary for  
15 repackaging the fuel elements from the CASTOR cask into the  
16 POLLUX cask. And this is all done under dry conditions, a  
17 hot cell was built where all the handling can take place.

18           This facility is licensed. It's far too small for  
19 the original purpose, but it's also called just a pilot plant  
20 or pilot facility. But it's in principle fully licensed.  
21 But at the moment it's only allowed to prepare the casks. Up  
22 to now, nothing is done in the facility, mainly because all  
23 the casks are still intact. And if somebody decides to  
24 demolish this, to decommission this, it's relatively easy  
25 because no hot stuff was used here.

1           So coming out of this pilot conditioning plant or  
2 this conditioning plant in general, the fuel elements will be  
3 put into the POLLUX canister, which I'm not a hundred percent  
4 sure, to be honest, but I think this one is welded at the  
5 top, because nobody wants to open it up again, and you can  
6 just put it down into the repository.

7           And this is still relatively heavy. This is 65  
8 tons. And for the transportation of this POLLUX container  
9 you see here, a dummy, all the equipment has been developed  
10 so far. So all the locomotives, for example, even the  
11 hoisting system was developed. This is an 85-ton hoisting  
12 system especially for casks for radioactive waste. And here  
13 the emplacement machines all have been developed, and all  
14 this equipment has been tested I think about a thousand times  
15 in more or less real conditions. You can see it here. So  
16 this looks like an excavation inside the mine so that the  
17 people can really test how is it to work with these machines,  
18 because in reality everything is different than just on  
19 paper, as I guess all of you know.

20           So, for example, there have been some tests. You  
21 can see this on rails, and it has been deliberately derailed,  
22 and then it was put back on track again under these  
23 conditions, and people used this to get timing for it to see  
24 how long does it take, how long will the stuff be exposed to  
25 the radiation of the canisters.

1           So much to this.

2           And, finally, these are pictures from the Asse  
3 mine. There have been done some tests in the Asse mine to  
4 see if it's really possible to close, to backfill the shafts.  
5 So they put the heater casks into the mine, and they  
6 backfilled it so the machinery was used, or at least the  
7 principles have been used, which were thought of for the  
8 final actual repository site. The heater tests went for  
9 about 10 years; and after these 10 years it was opened up  
10 again, and it looked very good. So there wasn't a real  
11 difference between the backfilled material, which was pure  
12 salt, and the host rock next to it. So you can say this test  
13 has been successfully performed.

14           Nevertheless, from here there was done a step  
15 further to the borehole concept, so what we call borehole  
16 concept. The idea was, of course, like the concept before,  
17 both categories of waste, the vitrified waste from  
18 reprocessing as well as the spent fuel, shall be put  
19 underground. And emplacement technology, again, should be  
20 developed for the whole chain of activities. But the main  
21 idea is to use a borehole concept for its improvement of heat  
22 transfer to the waste canisters. And the big advantage is  
23 that only a relatively small borehole was to be used, so  
24 backfilling doesn't take so much space and the host rock can  
25 creep very fast onto the canisters again.

1           This is also the second point here, and also--I  
2 think I mentioned it earlier--the required footprint is a lot  
3 less than in the reference case, because you use a third  
4 dimension in the mine. The cask is relatively cheap, the  
5 borehole cost, so you save some money. And also the  
6 operation is a lot easier with this. And you use less  
7 metallic material, so you also have got less corrosion  
8 products in the mine.

9           And, if you remember--I'm not quite sure if you  
10 do--in the reference concept we've got all together 12 of  
11 these fields, and here you see two--let's say two and a half.  
12 But in principle, it's again in the repository on the  
13 Gorleben mine--it's not a repository.

14           And the canisters which are to be put down there  
15 are designed to be consistent with the canisters coming from  
16 the reprocessing facilities. They are mainly these CSD  
17 canisters. And so this has got the same width as the CSD  
18 canisters, and putting three of them on top of each other  
19 gives you around about the same height for the BSK canister.  
20 So what was done here, it was hard to develop for all kinds  
21 of ways to be used in the mine the same type of canister  
22 which eases operation in the underground mine quite a lot.

23           And, again, as I said before, all the equipment has  
24 been developed to each and every detail, so this is a  
25 transfer cask. And also the handling means for it have also

1 been developed and tested. And also the emplacement machine  
2 for this concept also has been developed and tested. I don't  
3 know how many times, I think a thousand times, these tests  
4 have been running.

5           And underneath this machine there was a 10-meter  
6 hole, which the canisters were placed in. And there also  
7 have been some backfilling tests. Because the hole is  
8 relatively narrow, it wasn't sure if it's really possible to  
9 backfill these holes. And these tests so far have been  
10 performed quite good, and they even have been--how to say--  
11 they've been turned a little bit, these canisters, to see if  
12 this is also possible. And there also have been done the  
13 first tests of retrieving these canisters if something would  
14 have gone wrong. And this was especially challenged, because  
15 you can't guarantee that this thing at the top of the  
16 canister is always in the middle of the hole. But these  
17 tests have been working quite good.

18           And from there the next step was just the  
19 development of direct disposal of the transport and storage  
20 canisters from the CASTOR canisters mainly. And the idea  
21 was, again, just simplifying everything. And there is no  
22 real need for the CASTOR canisters anymore, especially not in  
23 Germany when we are thinking of phase out, and so you have to  
24 do something with them as well. And you also want to avoid  
25 handling as much as possible with the fuel elements, so why

1 not just put them directly together with the CASTOR canister.

2           And there also have been done the first preliminary  
3 designs, and these have not been done in so much detail as  
4 the other designs. But, nevertheless, there have been done  
5 calculations on the spacing between the casks and also  
6 between the boreholes, quite similar to the calculations  
7 you've done in Sandia. So there already is for this type of  
8 design--design ready.

9           As I said, here mainly paperwork has been done so  
10 far. But, nevertheless, we've developed, at least on paper,  
11 concept for a hoisting system, which should carry--I'm not  
12 quite sure if it's by coincidence, but it also should carry  
13 175 tons. And so far nothing speaks against the feasibility  
14 of this. Right now we are going into a bit more detail of  
15 this. We prepared some 20 years ago a probabilistic safety  
16 analysis for all the handling which was done on the  
17 repository site with special emphasis on the hoisting system,  
18 because people are quite afraid of transport of such a heavy  
19 weight inside the repository, and that's why we now want to  
20 start over this work again and started with some work on the  
21 shaft as well. And, again, also all the equipment is  
22 developed again, but not built yet at least.

23           And we are pretty sure that we can do this work,  
24 these horizontal boreholes here. There is machinery  
25 available for this, this is standard mining machines. And

1 the differences what we are now doing is we also tried to  
2 simplify the processes underground. So, for example, in this  
3 case the transport cask will be turned directly, while in the  
4 older cases you would have to lift the transport cask and use  
5 very heavy machinery to really put it in the final position  
6 in the end.

7           Unfortunately, all the developments to go to a more  
8 simplified design also sometimes have got some drawbacks or  
9 issues at least, and so I don't want to hide them. Before  
10 you the BSK concept, the borehole concept, is very nice; but  
11 it obviously only works when you've got a repository which is  
12 deep enough. When you only got a shallow layer, then you  
13 can't drill some several hundred meters of boreholes into it.  
14 And since, I said, we haven't drilled yet these couple-of-a-  
15 hundred-meter deep boreholes yet. It is also not  
16 demonstrated yet that retrievability is possible. For  
17 smaller distances, we show that it is possible, but not for  
18 the very deep ones.

19           Or to the proof of backfilling, we did it a couple  
20 of times, so it's demonstrated but it's not proof-ready yet  
21 for licensing. And the canisters are mainly, they only have  
22 got some steel wall around them, and so there's no real  
23 shielding provided for the cask to put underground, and  
24 that's why you need for all the equipment you're using really  
25 relatively complex emplacement technologies. And we also got

1 relatively high radiation impact on the host rock.

2           For the Direct concept, it's just existing on  
3 paper, so it's hard really to say something about the main  
4 disadvantages, but I already know that some topics at least  
5 have also been discussed at least I guess in the whole  
6 community. So the handling of very heavy loads, of course,  
7 is a challenge. It works on paper, again, but it's not  
8 demonstrated yet in reality. And the cask itself are  
9 designed for storage and transport but not for being  
10 underground for several hundred years. So also criticality  
11 is an issue. There have been some preliminary assessments  
12 for this, but they show it's very, very, very unlikely that  
13 we come to a criticality issue. But, nevertheless, it has to  
14 be demonstrated, and we're just talking about paper here.

15           Coming to my last slide, when you are going to plan  
16 something in more detail, you always discover some  
17 challenges, of course, and especially when it comes to  
18 operational and when you test some things, and I'm very happy  
19 that you have already seen most of these challenges as well  
20 so you are aware of these. I always thought that it's kind  
21 of difficult when you're handling some ten different casks  
22 with different lengths, different sizes, different centers of  
23 gravity, but what I heard today is that your challenge is a  
24 bit higher in this case.

25           We need some specific requirements on the hoisting

1 system, and so we really need quite extensive and sometimes  
2 unfortunately also cost and costly development work. When  
3 you're going into the mine and the radiation issues are all  
4 so different than to the ones you've got above ground. So  
5 you've got (inaudible) directly adjusting to you, and so you  
6 very often got problems with back-scattering, for example, of  
7 neutrons by the host rock, and it might even become more  
8 difficult when you go into granite, because this has got some  
9 radiation by itself.

10 All the handling you're doing underground, again,  
11 you've got the advantage that you've got an underground  
12 facility, but all the handling underground is quite complex  
13 and time-consuming. So you just don't have got--and this is  
14 also the last point here is you just don't have got the space  
15 as above ground. It's very limited and it's very  
16 complicated, and you really have to test things first before  
17 you want to install it. And with this outlook and  
18 challenges, I want to conclude my presentation. Thank you  
19 very much.

20 EWING: Thank you. The presentation is open for  
21 questions or comments.

22 MOTE: Nigel Mote, Board Staff. Thilo, thanks for the  
23 presentation. Could you tell us how deep the concept is for  
24 which you've examined the emplacement of lowering of loads of  
25 175 tons? Certainly within the industry here there has been

1 discussion about limits on how far you can go down with those  
2 sort of weights because of the need for single failure proof  
3 designs or redundant lifting systems.

4 VON BERLEPSCH: This concept was developed for the  
5 Gorleben site, which is about 900 meters deep.

6 MOTE: Okay, thank you.

7 EWING: Jerry.

8 FRANKEL: Jerry Frankel, Board. You talked about the  
9 creep of the backfill salt. I'm just wondering, is there any  
10 concern that these very heavy loads creep up the host salt  
11 over time?

12 VON BERLEPSCH: You mean settling of--

13 FRANKEL: Yeah, the forces of the heavy load on the host  
14 salt formation.

15 VON BERLEPSCH: Well, I'm not a geologist, and this  
16 answer should be answered by them. But, to my knowledge, no,  
17 there is no real concern about this, because more or less  
18 you've got the pressure from all sides in the end of the host  
19 rock, and the salt is very, very stable, in fact. So, when  
20 you go--for example, you are invited to go to the Gorleben  
21 site, and you see that even the rails inside the--the roads  
22 inside the mine are just pure salt, so they can really carry  
23 a very high, a very high payload.

24 EWING: Just to follow up, you know, one of the  
25 attractive qualities of salt that's often mentioned is that

1 it flows. So if you have these hot, heavy objects, wouldn't  
2 the salt flow around the package?

3 VON BERLEPSCH: Well, I can't really answer that. I'm  
4 just an engineer, not a geologist. But it has been assessed,  
5 this issue. And as much as I was told, no, there is no real  
6 big danger. Maybe part of it is because we've got this very  
7 deep site in Gorleben.

8 EWING: Okay, thank you.

9 Other questions? Yes, please.

10 RESNIKOFF: This is Marvin Resnikoff of RWMA again.  
11 What is the maximum burnup of fuel that you're looking at in  
12 Germany?

13 VON BERLEPSCH: It's around about 70 megawatts. Yeah,  
14 around about 70 it is; at least there are some licensing  
15 procedures right now going on with this, this number. Up  
16 till now we are around about--60 was the highest burnups, and  
17 the operators wanted to extend it. I'm not quite sure what  
18 the current status is because of the phase-out. They are  
19 limited in time, so I think they really want to keep these  
20 fuel elements into the reactor.

21 RESNIKOFF: What are the units--

22 EWING: You need to--

23 RESNIKOFF: What were the units used, 70--

24 VON BERLEPSCH: Megawatts.

25 RESNIKOFF: 70,000 megawatt days per metric ton?

1 VON BERLEPSCH: No, sorry, 70 gigawatts.

2 RESNIKOFF: Per metric ton?

3 VON BERLEPSCH: Yes.

4 RESNIKOFF: Uh-huh. Thanks.

5 VON BERLEPSCH: 70. Sorry.

6 EWING: Okay. Other questions? Yes.

7 NIGAM: Hitesh Nigam. I'm from the Department of Energy.  
8 I'm just looking at your schedule over here. You had a ten-  
9 year moratorium. Could you talk about that? And for some  
10 reason there's nothing after 2013. What is your schedule for  
11 the remainder of the project?

12 VON BERLEPSCH: So the moratorium was--they discovered  
13 that a CASTOR cask--I think it was 14,000 **becquerels** at one  
14 point after it arrived at the Gorleben site, and after that  
15 all the process was questioned, and there was also big issue  
16 on using nuclear power in general, so the political  
17 discussions started. And that's why all the work has been  
18 stopped at Gorleben--all the exploration work. The mine was  
19 kept open, and all the data measurements were kept alive, but  
20 no real experiments or research for the mine was done in  
21 these ten years. And it was decided at that time of day that  
22 after ten years the process shall be reopened again.

23 And exactly at that time the Conservative  
24 government came into force in Germany, and they changed  
25 completely, and they went for lifetime extension at that

1 point in time. And shortly afterwards Fukushima happened,  
2 and the same government made a turn back again, and this is  
3 now where we are. So this is a ten-year moratorium, and now  
4 we are again at the moratorium in Gorleben, which doesn't  
5 look that good. So there are no times for Gorleben at least.

6           Concerning the schedule, we've got a law on site  
7 selection, which was put into force this summer in July. And  
8 the law now foresees that a special commission shall decide  
9 on special criteria for site selection again, and these  
10 criteria shall be agreed by the government in 2015. And then  
11 we've got a new law on the site selection with these criteria  
12 involved, and for the site selection there shall be a  
13 specific regulator and also the current--the former  
14 operator--the former authority for the repository shall be  
15 staffed with some more people. And up to 2031 there shall be  
16 a site ready, which then shall be licensed and developed.

17           But there aren't any other numbers.

18           NIGAM: So you don't have a projected operational date?

19           VON BERLEPSCH: No. There are some wild guesses. I  
20 think when you look at the schedule, we are now planning for  
21 15 years for a site selection, but we really have to start  
22 with a complete wide net again, and this means you start with  
23 above ground surveys and then go into the mines and--no,  
24 there is no real schedule for this.

25           NIGAM: Sure. Thank you. The name is Hitesh Nigam.

1           EWING: Is it on the workshop topic?

2           METLAY: Dan Metlay, Board Staff. You've mentioned the  
3 new site selection law. Has any work been done about  
4 non-salt media?

5           VON BERLEPSCH: Yes. There actually is work on non-salt  
6 medias, so we've got a generic safety concept for clay, for  
7 example, because there are some clay formations in Germany.  
8 And there also has been some work on the Geologic Institute  
9 in Germany, just already some, I don't know, 20, 30 years  
10 ago, on different sites in Germany where a possible  
11 repository could be. And they also did look at clay  
12 formations. And we are also involved in all the research,  
13 for example, in Belgium and France. But this is also true  
14 for granite.

15           EWING: So let's leave site selection, and perhaps this  
16 will be the topic for another workshop by the NWTRB.

17                   Other questions?

18                   All right, let's thank our speaker again. Thank  
19 you very much.

20                   So it's my pleasure to introduce the last speaker  
21 for the day, Allison Macfarlane, who is the Chairman of the  
22 Nuclear Regulatory Commission, and she'll be giving us  
23 comments from the NRC perspective.

24           MACFARLANE: Good afternoon. It's great to be here.  
25 It's great to see so many familiar faces. I feel like I'm

1 back with my people.

2           Also, I have to remark, the last time I remember  
3 meeting with the Nuclear Waste Technical Review Board was  
4 when I was on the Blue Ribbon Commission, and it looked an  
5 awful lot different than it does right now. I am very  
6 pleased to note that the majority of members of the Board are  
7 women. And being the only woman speaker of the afternoon, I  
8 just had to comment on that. I congratulate you all on that  
9 achievement.

10           And thank you very much for the opportunity to be  
11 the clean-up crew here. And I'll bring a bit of NRC's  
12 perspective to the discussion today.

13           And I just want to note also in starting, I think,  
14 to me anyway, the really important message of this afternoon  
15 and probably your entire workshop is on the need--the  
16 desperate need--to integrate our approach to the fuel cycle.  
17 And what I mean by that is you really have to take account  
18 for the back end early on; otherwise, you end up with the  
19 situation that we have in the United States where we're  
20 talking about repackaging canisters and all of that. I'm  
21 probably preaching to the choir here, but it's important.  
22 It's one of my issues that I find really important that I  
23 keep emphasizing to my nuclear engineering colleagues.

24           With that, let me talk a little bit about some  
25 issues. And before I get into the meat of the topics, let me

1 dispense with some other issues that you might be interested  
2 in that are sort of a backdrop to our nuclear waste policy  
3 considerations.

4           You're probably aware that in 2012 the D.C. Circuit  
5 Court of Appeals vacated the NRC's 2010 Waste Confidence Rule  
6 and said that NRC in part hadn't successfully considered a  
7 permanent repository, that a permanent repository would not  
8 be available. So the NRC has since then been working on  
9 revising its Waste Confidence Rule and developing an  
10 environmental impact statement, and we're currently in the  
11 process of holding twelve public meetings--I think we've  
12 done--as of tonight we'll have done seven of them--and  
13 collecting public comments on that draft rule.

14           At the same time, you're probably now all aware  
15 that the court--that same court, actually--directed the NRC  
16 this past summer to continue and resume the Yucca Mountain  
17 licensing process. And today, this morning at 11:30, the  
18 Commission issued an order directing the staff to complete  
19 the safety evaluation reports for Yucca Mountain construction  
20 authorization application.

21           The order requests that the DOE prepare the  
22 supplemental environmental impact statement for NEPA review  
23 and also asks our staff to load documents from the old  
24 licensing support network into our ADAMS system so that the  
25 staff has access to them as they begin to complete the safety

1 evaluation reports with the ultimate goal of making all  
2 documents available to the public, but certainly the  
3 documents that will be referenced in the safety evaluation  
4 report and the environmental impact statement will be, of  
5 course, made public.

6           So that's basically what I have to say about Yucca  
7 Mountain. I can't really say any more, because it's an  
8 adjudicatory matter that's going to be before the Commission,  
9 and so it's not appropriate for me to go into any more detail  
10 on it than that.

11           Let me, though, be clear about one thing, and  
12 that's NRC's role in terms of a repository. NRC's role is to  
13 ensure that a future repository is licensed consistent with  
14 applicable standards and that it's operated safely. I want  
15 to note that there are a range of policy matters that were  
16 before the Blue Ribbon Commission and that the Blue Ribbon  
17 Commission considered that Pete Lyons referenced earlier and  
18 that aren't specific to a repository and a repository site.  
19 For those matters, it's the responsibility of congress and  
20 the administration to update the national policy for high-  
21 level waste disposal. So they are the policy makers on those  
22 issues.

23           Another related consideration right now is  
24 decommissioning of sites, and Jeff Williams talked a fair bit  
25 about some of the decommissioned or decommissioning sites in

1 the U.S. And as more sites continue to announce  
2 decommissioning and shutdown, without a permanent disposal  
3 solution, a larger portion of spent fuel at the sites will be  
4 stored in some kind of long-term storage. And I'll focus on  
5 this issue a little later.

6           It's clear right now, though, that decisions made  
7 today--and this is really what we've been discussing today--  
8 made by the industry regarding the back end of the fuel cycle  
9 could impact storage, transport, and disposal in the future.  
10 I believe that looking at various parts of the fuel cycle in  
11 isolation will likely end up with unintended consequences.

12           So let me talk a little bit more about NRC's  
13 regulatory program. So I'm going to highlight NRC's role in  
14 overseeing storage, transportation, and disposal and some of  
15 our key regulatory activities. The Commission is charged  
16 with ensuring that commercial spent fuel is safe and secure  
17 during all modes of storage and disposal. We're responsible  
18 for certifying the packages that may be used to transport  
19 spent fuel from one facility to another. We don't endorse  
20 any particular strategy for the management of commercial  
21 spent fuel. Our job is to regulate the current technologies  
22 and practices employed by the industry.

23           At the same time, I personally believe that we  
24 should be cognizant of the impacts our regulatory decisions  
25 have on other aspects of the national waste disposal mission.

1 I think it's--you know, we shouldn't be doing this with a  
2 blindfold on.

3           We currently regulate approximately 60 sites that  
4 have deployed dry cask storage--Jeff talked a fair bit about  
5 this earlier today--including operating sites, decommissioned  
6 reactor sites, and two DOE facilities. As part of our  
7 regulatory program, we also anticipate and prepare for future  
8 strategies and scenarios that industry and DOE may choose for  
9 long-term management of spent fuel. So in terms of spent  
10 fuel storage, Jeff's presentation earlier discussed in detail  
11 the population of storage casks used in the U.S. The NRC  
12 licenses spent fuel under 10 CFR Part 72 either with a site-  
13 specific license or a general license that's been granted to  
14 all reactor licensees.

15           In total there are more than 1,700 loaded storage  
16 casks, and there are approximately 15 site-specific licensees  
17 with unique cask designs, including the G.E. Morris facility,  
18 which uses a pool. There are approximately 60 design  
19 variations that have been approved for use by reactor  
20 licensees. These design variations represent the continued  
21 evolution of cask technologies in increasing capacities and  
22 versatility and other changes that are tailored to meet the  
23 specific needs of reactor licensees.

24           Most of the loaded casks are canister-based  
25 systems, as we heard, and are dual purpose. Utilities and

1 designers intend for the casks to be transportable under our  
2 regulations of 10 CFR Part 71 and do not plan to repackage  
3 casks at the reactor sites. However, as Jeff pointed out,  
4 there are a few vintage casks that aren't designed for  
5 transportation and will likely need to be repackaged.

6           Also, Jeff noted in his presentation, there are  
7 often cask designs that have been approved first by the NRC  
8 and loaded by industry for immediate storage but not yet  
9 approved by the NRC for transportation. The NRC does not  
10 currently have a policy that requires dual storage and  
11 transportation approval at the time of loading. The NRC  
12 performs license application reviews and routine inspections.  
13 We conduct regulatory research, and we develop rules and  
14 guidance to address emerging regulatory issues.

15           So let me talk about some of the technical issues.  
16 Along with aging management issues for storage, the NRC staff  
17 is in the process of evaluating potential technical issues  
18 relating to extended storage and transportation. In  
19 particular, the staff is seeking to identify areas where  
20 additional data and analysis may be needed to effectively  
21 regulate long-term storage.

22           So we have identified through extensive public  
23 engagement and research a number of cask degradation issues  
24 that require further analysis, and these include stress  
25 corrosion cracking of stainless steel in marine environments,

1 concrete degradation, the effects of residual moisture inside  
2 spent fuel canisters after drying, non-destructive methods  
3 for inspection and monitoring of dry storage casks, and more  
4 realistic thermal calculation models.

5           The staff, in particular in regards to stress  
6 corrosion cracking--sorry--yeah--in regards to stress  
7 corrosion cracking, the staff demonstrated that chloride-  
8 induced stress corrosion cracking occurred in multiple  
9 stainless steel specimens exposed to realistic in-service  
10 canister environments and included stress states and chloride  
11 content and temperature range. They performed analyses to  
12 assess realistic canister weld, residual stresses, which  
13 promote stress corrosion cracking, initiation and growth, and  
14 the NRC performed a feasibility study to determine potential  
15 candidate, non-destructive, evaluation-based in-service  
16 inspection methods to detect stress corrosion, cracking in  
17 canisters. So this has been an area that's taken a fair  
18 amount of our focus.

19           We are also looking at high burnup fuel issues. Of  
20 course, there has been a fair amount of discussion about that  
21 this afternoon as well. We're interested in the long-term  
22 physical properties of high burnup spent fuel and the  
23 implications of high burnup spent fuel for storage. We've  
24 asked cask users and designers during consideration of  
25 storage cask license renewals to provide data on the expected

1 behavior of high burnup fuel over long storage periods, and  
2 there is little data, really, that exists of similar type  
3 that's available for low burnup fuel.

4           We've also sought additional information and  
5 analysis in improving transportation packages for high burnup  
6 fuel. Cladding integrity in terms of transportation is often  
7 credited for geometry control in terms of criticality safety  
8 analysis that's required under our regulations. We just  
9 completed some research with Argonne National Lab to examine  
10 temperature ranges at which the cladding goes from a ductal  
11 to a brittle condition as it cools during long-term storage.  
12 And this Argonne research concluded that reorientation of  
13 hydrides, which you see here--these black lines here--into  
14 radial patterns--and this is cladding--into radial patterns  
15 during storage represents an additional embrittlement  
16 mechanism that can reduce cladding failure limits during  
17 storage as the cladding temperature decreases below the  
18 ductal to brittle transition temperature. So, as such, the  
19 effects of radial hydrides have to be included in structural  
20 analyses when cladding temperature is below the ductile to  
21 brittle transition temperature.

22           The research also observed that susceptibility to  
23 radial hydride formation and radial hydride induced  
24 embrittlement is highly dependent on cladding material--I  
25 guess that's not really that much of a surprise--irradiation

1 conditions, and predrying distribution of hydrides across the  
2 cladding wall, as well as peak drying hoop stress. DOE is  
3 supporting additional testing at Argonne to obtain  
4 information on this issue.

5           And the research does not necessarily conclude  
6 whether this phenomenon is significant enough to cause  
7 cladding failure and an inability to handle spent fuel after  
8 storage. So I think that licensees should consider this  
9 issue in the licensing of storage and transportation casks,  
10 noting that there is little confirmatory data to validate the  
11 predictions of high burnup fuel behavior in long-term  
12 storage. So, in general, this is an area that needs more  
13 research.

14           The NRC is also pursuing other research activities  
15 in order to get a better understanding of how spent fuel  
16 behaves in potential long-term storage environments and  
17 eventual transportation. This includes the development of a  
18 tool to determine whether fatigue or structural damage from  
19 vibration could affect high burnup fuel cladding during  
20 routine transportation.

21           Finally, the DOE and industry are implementing a  
22 long-term demonstration program to provide confirmation of  
23 high burnup cladding integrity during storage. The NRC is  
24 monitoring this program to make sure the information it  
25 provides is valid and is useful for us in a regulatory

1 context.

2           We are also examining regulatory framework for  
3 storage and transportation. The staff at the NRC is working  
4 to identify ways to improve the efficiency of the licensing  
5 processes. They are also examining key regulatory issues  
6 such as the compatibility of storage and transportation  
7 requirements and regulating storage facilities at  
8 decommissioned sites.

9           So as part of NRC's evaluation of the compatibility  
10 between storage and transportation regulations, the staff is  
11 reviewing its policies, regulations, guidance, and technical  
12 needs in key areas such as the NRC policies for  
13 retrievability, cladding integrity and safe handling of spent  
14 fuel, criticality requirements for spent fuel transportation,  
15 and the aging management and qualification of dual-purpose  
16 canisters and components after long-term storage.

17           For retrievability the staff is still in the  
18 process of making a determination on whether NRC's guidance  
19 should remain fuel assembly-based or transition to allowing  
20 canister-based retrievability for storage of spent fuel.  
21 Additionally, the staff is still considering whether  
22 retrievability and cladding integrity should be explicitly  
23 incorporated into the transportation regulations to ensure  
24 that if spent fuel is eventually retrievable after  
25 transportation to a consolidated interim storage facility.

1           Another issue is spent fuel stored at  
2 decommissioned reactor sites, as I mentioned. As was  
3 discussed earlier, there are ten independent spent fuel  
4 storage installations at nine sites. This is the stranded or  
5 orphaned sites. And, as you know, additional reactor sites  
6 have recently announced shutdowns and plans for  
7 decommissioning. And at these sites the reactor  
8 infrastructure has been or will be largely dismantled,  
9 including equipment that can be used to individually handle  
10 or protect spent fuel. So it's not going to be there  
11 anymore, as we've been discussing, and this includes spent  
12 fuel in associated facilities, I mean, pools in associated  
13 facilities. So the growing number of these sites like these  
14 is an issue that I believe we need to consider.

15           The NRC staff also plans to review the current  
16 regulatory framework and how it applies to stand-alone  
17 independent spent fuel storage installations, including  
18 consideration of long-term aging management needs and the  
19 applicability of general license framework to these dry  
20 storage facilities at sites that no longer have an operating  
21 reactor.

22           So let me add a caution that many of these research  
23 programs that I've been describing ongoing at the NRC are  
24 dependent on adequate funding. Yeah, I know. And these  
25 programs may end up experiencing further reductions or

1 slowdowns as a result of further sequestration cuts if they  
2 come. So something to keep in mind.

3           Let me mention waste confidence again. So since  
4 September 2012 we've had a dedicated staff working just on  
5 waste confidence. This recent government shutdown did affect  
6 us. It forced us to postpone five of those twelve public  
7 hearings, and it also resulted in extension of the public  
8 comment period to December 20th. But we were able to  
9 reschedule all those meetings, and so we'll get them all in  
10 before the new year.

11           One key issue on which we're seeking comment is  
12 whether the proposed waste confidence rule and the related  
13 Commission policy should address the feasibility of a  
14 repository being available 60 years after the licensed life  
15 of a reactor. The related issue here is whether spent fuel  
16 can be safely stored on site during that intervening period  
17 until a repository becomes available, and I invite all of you  
18 to send us your comments on that issue.

19           So where do we go from here? I think that's my  
20 final slide. So the lack of a final repository solution and  
21 the evolving needs of interim storage and transportation is  
22 an issue that industry, the DOE, and the NRC has to consider  
23 within our respective roles. And we have to ask again how  
24 our actions now might impact decisions and technology choices  
25 later. It's, I think, a pivotal time right now for nuclear

1 waste policy in this country; and, again, the onus is on  
2 congress and the administration to make it so. And Pete  
3 talked about some of these issues earlier.

4           However, we have to continue to do what we can at  
5 the NRC from a regulatory standpoint to prepare ourselves for  
6 any of the potential scenarios that may come down the pike.  
7 Our regulatory framework generally presumes that spent fuel  
8 may need to be directly handled while transitioning between  
9 the storage, transportation, and disposal phases of this  
10 process.

11           So the NRC encourages industry and the DOE to  
12 closely coordinate on the interfaces of the fuel cycle to  
13 ensure that safety is maintained and efficiency is optimized  
14 to the extent practical. This also helps to promote long-  
15 term efficiencies on the regulatory side as opposed to the  
16 NRC taking a piecemeal regulatory approach to new and  
17 unintended issues that occur because of past decisions.

18           We should also endeavor to engage actively with the  
19 public to foster understanding of how fuel is handled at each  
20 stage of the fuel cycle, particularly on the back end.  
21 People understandably have concerns about whether they are  
22 protected if casks of fuel remain for decades on a reactor  
23 site near their home or passing them on highways or on their  
24 way to interim storage. The NRC is working to strengthen  
25 public engagement to ensure that people have the opportunity

1 to ask questions and get the information in plain language  
2 they can understand.

3           The NRC will continue to consider the interface of  
4 our regulatory regimes to potentially improve efficiency and  
5 effectiveness. I appreciate the NWTRB's attention to these  
6 issues and its role in providing technical advice to congress  
7 and the DOE.

8           So thank you. I appreciate the opportunity to  
9 speak with you today, and I'm happy to answer your questions.  
10 I want to note that Mark Lombard, who is the Director of the  
11 Division of Spent Fuel and Transportation in our Office of--  
12 and everything has a long name at the NRC--Nuclear Material  
13 Safety and Safeguards--and Mike Waters from my staff here.  
14 Mark is in the back somewhere. Yes, there he is. And Mike's  
15 here--are also with me to help answer questions if we get too  
16 much in the weeds, and I'm not a master of every piece of  
17 information.

18           So, with that, I'll take your questions.

19           EWING: Thank you, Allison. And the presentation is  
20 open for discussion, comments, questions.

21           GOTHERMAN: Brian Gotherman. Thank you, Chairman, for  
22 your remarks.

23           I had a question. Could you shed any light on the  
24 item on Slide 5 pertaining to residual moisture in canisters?  
25 What's the genesis of that? Maybe your staff. I'm sure you

1 don't know those details.

2 EWING: Can you pull up Slide 5?

3 MACFARLANE: Residual moisture in canisters?

4 GOTHERMAN: Yes. What's the genesis of that whole  
5 effort?

6 MACFARLANE: Let me ask Mark to answer, but he needs a  
7 microphone.

8 LOMBARD: Lombard, NRC. Brian, it relates to the work  
9 that we're doing at the Center to determine how much moisture  
10 is left in a cask after the vacuum drying operation is  
11 complete. And I'm not sure exactly what the status of that  
12 work is, but it relates to, again, how much is left in it  
13 after the vacuum drying. I think we've talked about it  
14 other--

15 SPEAKER: What started it?

16 LOMBARD: What started it? That's a good question, and  
17 I'm going to phone a friend down here, Jim Rubenstone.

18 RUBENSTONE: This is Jim Rubenstone, NRC. And Mark's  
19 right. We had a couple studies done by our contractor in San  
20 Antonio to look at the question, because while there are  
21 well-developed methods that are in use in the industry for  
22 drying, there's not a lot of confirmatory information,  
23 because the number of canisters that have been opened after  
24 drying is very limited. So we had them look at some  
25 questions about how much water could be trapped within and

1 then what would be the potential impacts of that.

2           So we're trying to do some follow-up work to see--  
3 just looking for confirmatory information. And that's  
4 another area where this demonstration plan that has been laid  
5 out by DOE and its contractors may shed some light on that as  
6 well.

7           EWING: Okay, thank you. Other questions?

8           CURRAN: Diane Curran, Harmon, Curran, Spielberg and  
9 Eisenberg. Thank you very much for your remarks, Chairman  
10 Macfarlane. And I want to--I just want to say how much the  
11 many environmental groups I work with have appreciated your  
12 commitment to open this in the waste confidence process. All  
13 the meetings you've held, your accessibility for help and  
14 information, very much appreciated. This is a hugely  
15 important issue to the groups I work with.

16           One of the things I'd like to ask you for is you  
17 mentioned some research that Argonne Labs has just yielded  
18 some results. Is there a way that that information can be  
19 publicly posted so that people who are commenting on the  
20 waste confidence EIS can have a look at it?

21           MACFARLANE: I imagine that--yes. And thanks, Diane,  
22 for your comments. It's nice to see you. I imagine it  
23 should be--if it isn't posted already, it should be. Is it  
24 posted?

25           SPEAKER: It's on ADAMS.

1           MACFARLANE: It's on ADAMS.

2           CURRAN: Okay, terrific. Thank you.

3           EWING: Other questions?

4           GREEVES: John Greeves. And earlier in the year the  
5 staff put out a notice asking for comments on retrievability  
6 and cladding integrity policy issues; and I haven't seen any  
7 results of those 17, 18 comments that have come in. Is there  
8 a status on when that's going to come out and any follow-up  
9 with it?

10          MACFARLANE: Mark? Good thing I brought a whole bunch  
11 of people with me to answer all these questions, huh? That's  
12 the problem when your agency covers tons and tons of things.

13          LOMBARD: As many of you know, the retrievability  
14 question and cladding integrity is a difficult concept to  
15 wrap our arms around, because, as the Chairman said earlier,  
16 we want to make sure we don't make regulatory decisions now  
17 that have wide-reaching negative impacts going forward. So  
18 we are still looking at the comments.

19                 We are taking into account all the environment that  
20 we're in right now. And it's a tough question to answer.  
21 It's something that's going to require a change in policy,  
22 because we did send up a letter to the Commission back in  
23 2001 that defined retrievability on a fuel assembly basis.  
24 And as my colleague here, he's in Team Canister, I believe.  
25 There's Team Canister and Team Fuel Assembly. And we still

1 haven't chunked through all the information that we have to  
2 date and made a decision and put it together. Again, it's  
3 going to be a letter that goes up to the Commission for them  
4 to help us make that policy decision.

5 EWING: Okay, thank you, Jerry.

6 FRANKEL: Jerry Frankel, Board. So we heard earlier  
7 from Jeff Williams that the dry casks can be recertified for  
8 80-year lives and that maybe some manufacturers think they  
9 can last a couple of hundred years. So I'm just wondering if  
10 the work done by the Center here has influenced the NRC's  
11 plans for recertification of the dry storage casks, or do you  
12 think that those results still suggest that those casks will  
13 be fine for hundreds of years?

14 MACFARLANE: I think this is something that we're going  
15 to have to consider carefully as we go out in the future.  
16 And, you know, we have to consider issues beyond some of the  
17 few that I've talked about. We have to look at this  
18 holistically and carefully. And especially as we get into  
19 issues of high burnup fuel, I think there are a lot of  
20 unanswered questions right now.

21 EWING: Okay, thank you. Another question? Okay, Lee.

22 PEDDICORD: Lee Peddicord from the Board. On some of  
23 these technical issues that you've identified, the stress  
24 corrosion cracking, high burnup fuel, and so on, to what  
25 extent do you have a chance as a Commission or Commission

1 staff to interact with the other regulatory authorities in  
2 other countries as they're addressing grappling with these  
3 same kind of issues, compare notes, and so on? We heard, for  
4 example, similar high burnups in Germany and so on. So do  
5 you have formal mechanisms of interactions that get right to  
6 these specific issues?

7       MACFARLANE: You know, there are a variety of issues  
8 that we work with our international regulatory partners on,  
9 and these are one of them. We work within the auspices  
10 sometimes of IAEA, sometimes with the Nuclear Energy Agency.  
11 There are committees on back-end issues, radioactive waste  
12 issues, in both of these; and so our staff will go and work  
13 with folks from other regulatory agencies on these issues.  
14 And the international component is a very important part of  
15 our work. We do a lot of learning from international  
16 partners, sharing of information, assistance work as well.

17       EWING: Okay.

18       HIGBEE: Hello, I'm Ed Higbee. I'm a Lincoln County,  
19 Nevada, Commissioner. And what I would hope--and I think a  
20 lot of us out in that area where we talk about it a lot  
21 today--is that we would like to kick the politics out of it.  
22 We would like to let these very smart people in this room  
23 work their way through it scientifically and then do the  
24 right thing for the American people.

25       MACFARLANE: Thanks for your comment.

1 EWING: Jeff.

2 WILLIAMS: This is Jeff Williams with DOE. I saw  
3 somewhere recently--and I'm not sure where--about 10 CFR 72  
4 and how it seemed to be the NRC thought that for licensing of  
5 a consolidated storage facility, it was adequate for a  
6 storage-only facility; but if you were going to do some of  
7 these other things like repackaging, that rule may need to be  
8 revised. And I'm just wondering if you could comment on  
9 that.

10 MACFARLANE: I'm going to ask Mark to comment on that.

11 EWING: So we should leave the microphone--

12 MACFARLANE: Take it to the back of the room, right.

13 LOMBARD: So Part 72 wasn't designed for repackaging and  
14 other R&D activities that a site or a county or an entity  
15 might want to have in that type of facility, because just  
16 having a pad out there with a fence around it and a guard  
17 force for standard storage is probably not enough to entice  
18 an entity into actually going forward and investing the time,  
19 the money, and resources that it takes to actually get a  
20 license from us and to move forward.

21 Part 72, again, it was not designed specifically  
22 for that. There are folks who think that it might be tweaked  
23 to be able to handle that; but, again, it does have  
24 limitations. So we're looking at that Part 72 to see if it  
25 could handle an R&D and repackaging-type facility at this

1 point. But the easy way to move forward on an interim  
2 consolidated storage facility is certainly just to do storage  
3 only. And Jeff has a follow-up question.

4 WILLIAMS: Just to come back, it seems that my  
5 recollection is 72 was passed around the same time that MRS  
6 facility was being considered that did rod consolidation, and  
7 I thought that 72 was adequate to address a facility that did  
8 rod consolidation. So I'm just--am I not remembering things  
9 properly, do you know?

10 LOMBARD: I think you are remembering things properly on  
11 what you were looking at to make sure what the extent of  
12 scope--how far 72 can go.

13 EWING: Another question, comment? Bret?

14 LESLIE: Bret Leslie, Board Staff. This is a question  
15 for both Jeff for DOE and NRC. There were two different time  
16 frames that were talked about today, one in the waste  
17 confidence and one in the scoping studies that Jeff has  
18 talked about. How do they correlate or coincide, or are they  
19 integrated? In other words, the time frames that the--not  
20 necessarily what Jeff did, but the other scoping studies that  
21 DOE has done, do they align with kind of the anticipated  
22 waste confidence timeline that is in the generic  
23 environmental impact statement?

24 MACFARLANE: Well, I think that's for all of you to  
25 comment on. You know, on the Commission we are--this is--

1 we're dealing with this draft document right now. We are  
2 looking for your comments on whether you think that they  
3 align and what you think might be reasonable.

4 The DOE doesn't want to comment right now.

5 EWING: All right. Any other last question?

6 Okay, let's thank the Chairman again.

7 Just a few orders of business before you disappear.  
8 We will reconvene tomorrow in this room at 8:00 o'clock to  
9 give you the instructions for the breakout sessions. I  
10 reviewed for you the topics for the breakout sessions, so be  
11 thinking about which session you would like to join. I hope  
12 that everyone can return, because it's been great that we've  
13 had such a turnout for this meeting.

14 And then, finally, I want to give special thanks to  
15 the NWTRB staff. A tremendous amount of work was required in  
16 order to organize the workshop. The framework document that  
17 was prepared, and it's available for you on the table  
18 outside, that's a staff product. The staff have really  
19 played a critical and driving force role in pulling this  
20 together. So as you see them during the next few days, be  
21 sure to thank them.

22 All right, thank you very much. Have a great  
23 evening. You're welcome to stay and keep asking one another  
24 questions.

25 (Whereupon, the meeting was adjourned.)

C E R T I F I C A T E1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

I certify that the foregoing is a correct transcript of the Nuclear Waste Technical Review Board's Technical Workshop held on November 18, 2013, in Washington, DC, taken from the electronic recording of proceedings in the above-entitled matter.

December 15, 2013

\_\_\_\_\_  
Federal Reporting Service, Inc.  
17454 East Asbury Place  
Aurora, Colorado 80013  
(303) 751-2777