

NUCLEAR WASTE TECHNICAL REVIEW BOARD

Full Board Meeting
Open Morning Session

Crystal City Marriott
Arlington Ball Room
Arlington, Virginia

October 10, 1990
10:00 a.m.

EXECUTIVE COURT REPORTERS, INC.
301-565-0064

BOARD MEMBERS PRESENT

DON V. DEERE
Chairman

CLARENCE R. ALLEN

DONALD LANGMUIR

JOHN CANTLON

D. WARNER NORTH

MELVIN W. CARTER

DENNIS L. PRICE

PATRICK A. DOMENICO

ELLIS D. VERINK

ALSO PRESENT

WILLIAM D. BARNARD
Executive Director
Nuclear Waste Technical Review Board

ROBERT BERNERO
Nuclear Regulatory Commission

ROBERT SHAW
Electric Power Research
Institute

LEON REITER
Senior Professional Staff
Technical Review Board

ROY WILLIAMS
Consultant to the Board
on Hydrogeology

AUDIENCE PARTICIPANTS

MAXWELL B. BLANCHARD
Chief
Regulatory and Site Evaluation
Division
Yucca Mountain Projects Office

DAVID C. DOBSON
Chief
Regulatory Interactions Branch
Yucca Mountain Projects Office

PEDRO B. MACEDO
The Catholic University
Washington, D. C.

JAMES R. TOURTELLOTTE, ESQUIRE
Eckert, Seamans, Cherin & Mellott
Washington, D. C.

TABLE OF CONTENTS

	<u>Page</u>
WASTE CONFIDENCE PROCEEDING	
Robert Bernero, Nuclear Regulatory Commission	9
Questions and Discussion	25
OVERVIEW OF EPRI/EEI HIGH-LEVEL WASTE REPOSITORY METHODOLOGY	
Robert A. Shaw, Senior Program Manager, High-Level Waste Program, Electric Power Research Institute	62
Questions and Discussion	95

1 P R O C E E D I N G S

2 CHAIRMAN DON V. DEERE: Good morning, ladies and
3 gentlemen.

4 First I have an official request to help in our
5 recording. We wish you would wait to be recognized by your
6 last name before speaking or state your name clearly before
7 you speak. Anyone in the audience who later wishes to make a
8 comment we would appreciate it if you would go to the nearest
9 microphone, wait to be recognized and then state your name
10 and affiliation clearly. Last, leave some identification
11 such as a business card or fill in the sign-in sheet by the
12 microphone.

13 This will help us to get the most accurate
14 transcript possible.

15 My name is Don Deere. I am Chairman of the Nuclear
16 Waste Technical Review Board. On behalf of the Board members
17 I want to thank you for coming to the autumn meeting of the
18 Board.

19 We have an ambitious agenda for this two-day
20 meeting which I will outline shortly. I would like to take
21 this opportunity, for those of you now familiar with the
22 Nuclear Waste Technical Review Board, to provide some
23 background information.

24 The Nuclear Waste Technical Review Board was
25 created by the United States Congress on December 22, 1987 in

1 the Nuclear Waste Policy Amendment Acts of 1987. Although
2 established by Congress, it is an independent agency within
3 the Executive Branch of the United States Government.

4 The first meeting of the Board was held in March of last
5 year.

6 It is the Board's responsibility to evaluate the
7 scientific and technical validity of the United States
8 Department of Energy's efforts to evaluate the suitability of
9 the Yucca Mountain site in Nevada for the permanent disposal
10 of the Nation's commercial spent fuel and defense high-level
11 waste.

12 The Board, also, is charged with evaluating waste
13 packaging and transportation activities undertaken by the
14 Department of Energy. We report our Findings, conclusions
15 and recommendations to the United States Congress and the
16 Secretary of Energy at least twice a year. The second report
17 of the Board is scheduled to be released in mid-November.

18 Members of the Board are selected by the President
19 from a list of nominees prepared by the National Academy of
20 Science. There are currently eight active Board Members of a
21 total of eleven. One former Board Member is awaiting
22 appointment. The term of appointment is for four years.

23 I am honored to have been selected by President
24 Reagan to serve as the Board's Chairman. I would like to
25 take this opportunity to introduce the other Board Members.

1 They are, in alphabetical order, Dr. Clarence
2 Allen, Professor of Geology and Geophysics Emeritus,
3 California Institute of Technology: And I think you will
4 recognize that this word Emeritus has just been won;--

5 [Laughter]

6 CHAIRMAN DEERE: --Dr. John E. Canton, formerly as
7 of one month ago Vice President of Research and Graduate
8 Studies, and Dean of the Graduate School at Michigan State
9 University: and I understand they play Michigan this
10 Saturday;--

11 [Laughter]

12 CHAIRMAN DEERE: --Dr. Melvin W. Carter, Neely
13 Professor Emeritus, Georgia Institute of Technology and an
14 International Radiation Protection Consultant; Dr. Patrick A.
15 Domenico, David B. Harris Professor of Geology and
16 Geohydrology, Texas A&M University, College Station Campus;

17 Dr. Don Langmuir, Professor of Geochemistry at
18 Colorado School of Mines; Dr. D. Warner North, principal,
19 Decision Focus, Incorporated, Los Altos, California,
20 Consulting Professor, Stanford University, Palo Alto,
21 California and Associate Director, Stanford Center for Risk
22 Assessment;

23 Dr. Dennis L. Price, Professor of Industrial and
24 Systems Engineering, and Director, Safety Projects Office,
25 Virginia Polytechnic Institute and State University,

1 Blacksburg, Virginia; Dr. Ellis D. Verink, awaiting re-
2 appointment, Distinguished Service Professor of Metallurgy
3 and former Chairman, Material Science and Engineering
4 Department, University of Florida, Gainesville, Florida.

5 The day to day activities of the Board are managed
6 by our Executive Director Dr. Bill Barnard.

7 We established several panels to facilitate
8 activities. The current panels are Structural Geology and
9 Geoengineering, Hydrogeology and Geochemistry, Engineered
10 Barrier System, Transportation and Systems, Environment and
11 Public Health, Risk and Performance Analysis, and Quality
12 Assurance.

13 At meetings of the full Board we try to have
14 speakers who deal with broad topics that cut across various
15 disciplines, and topics that the Board Members need to
16 understand.

17 Today we have been particularly successful in
18 having two speakers who will make presentations which I think
19 we will all find of great interest. We are please that Mr.
20 Robert Bernero of the Nuclear Regulatory Commission had
21 agreed to brief us today on the Waste Confidence Proceeding;
22 and the Electric Power Research Institute will also make a
23 presentation on their performance assessment activities: very
24 detailed and very broad. I will introduce their speaker
25 later.

1 Tomorrow we have scheduled a technical exchange
2 with the Department of Energy of our Panel on Structural
3 Geology and Geoengineering to discuss the Department of
4 Energy's Calico Hill Risk Benefit Analysis, Surface-Based
5 Prioritization and Dry Drilling.

6 The Electric Power Research Institute will also
7 provide more details on their performance assessment in
8 tomorrow afternoon's session.

9 Before we begin I want to remind you that we are a
10 diverse group of individuals. Thus any comments made by a
11 Board Member during these proceedings reflects their personal
12 point of view and does not necessary represent the opinions
13 of other Members, nor of the Board as a whole.

14 In addition, I would like to point out that lack of
15 comment on a presentation does not necessarily indicate the
16 Board agrees with what is being said. The Board's position
17 on issues is formulated only after careful consideration and
18 discussion by the Board, and is presented in its reports to
19 and testimony before Congress.

20 If you are interested we do have copies of our
21 October 2 testimony before the Subcommittee on Nuclear
22 Regulation, Committee on Environment Public Works, United
23 States Senate.

24 We would like to begin now with Robert M. Bernero.
25 He is Director of the Office of Nuclear Material Safety and

1 Safeguards of the United States Nuclear Regulatory
2 Commission. He will address the topic of the Waste
3 Confidence Proceeding.

4

5

6

7 WASTE CONFIDENCE PROCEEDING

8

9 Robert M. Bernero, Director, Office of Nuclear Material
10 Safety and Safeguards, United States Regulatory Commission

11

12 MR. BERNERO: Thank you, Mr. Chairman. I think I
13 have enough of a tether here.

14 It gets harder every year. I am 60 years old and I
15 have never been invited to be a member of a prestigious
16 board; but at least I can talk to them.

17 [Laughter]

18 CHAIRMAN DEERE: When do you retire?

19 [Laughter]

20 DR. CARTER: Bob, all of us have to go through a
21 probationary period.

22 [Laughter]

23 MR. BERNERO: There is on the ballot in the State
24 of Oregon an initiative to shut down the Trojan Nuclear
25 Plant. One of the principal reasons contained in the

1 initiative for shutting it down is the lack of high-level
2 waste disposal.

3 Not long ago, just a couple months ago, the
4 National Research Council Nuclear Waste Board published a
5 report that said, among other things, "The U. S. high-level
6 waste program, as presently conceived, is doomed to failure."

7 Exactly eight days ago Dr. Deere and I had the
8 pleasure of testifying in the Senate on: Where are we going
9 in high-level waste? In this chorus of gloom, in this chorus
10 of voices saying "We cannot get there from here," the Nuclear
11 Regulatory Commission has just published a Waste Confidence
12 Finding. It was in the Federal Register just a short time
13 ago.

14 On the surface that might sound absurd. However,
15 today I would like to explain what the Commission did and why
16 it did it.

17 First of all, the Waste Confidence Proceeding--and
18 there are copies of this outside of which you should all have
19 one--is a generic environmental Finding. In other words, as
20 we engage in major Federal actions, like issuing licenses for
21 major facilities or things like that, we often have to make
22 decisions or take positions on major issues from which there
23 will derive a substantive series of actions like licenses;
24 and these generic Findings are really environmental impact
25 statements or the equivalent.

1 That is what we are doing here. We are making a
2 Finding that resulted from reactor litigation--I will explain
3 that in a little bit--and the Commission made this Finding
4 once before: in 1984. At the same time, it pledged to review
5 it every five years.

6 Therefore, in 1989 the subject came up again.

7 The origin of this was in 1976. In 1976 the
8 Natural Resources Defense Council filed a petition that said
9 in so many words, "You should quit licensing reactors or
10 amending the licenses of reactors since you don't have
11 assured disposal of the high-level waste generated by
12 operating those reactors. Since you don't have that disposal
13 you should not authorize the further generation of such
14 waste."

15 As it turned out, at that time there were two
16 nuclear plants that filed for amendments to their licenses to
17 enlarge the storage capacity of their spent fuel pools. The
18 spent pool is a very large swimming-pool like structure; and
19 the racks in those pools were designed very conservatively
20 with a lot of spacing: far more space than was really
21 necessary for safety reasons.

22 In the days when the storage of spent fuel began to
23 be a problem, reactor owners looked at their pools and said,
24 "Gee, if I only changed the metal rack I could get 50 percent
25 more fuel," or twice as much, "in there"; but they had to

1 amend their licenses to do that.

2 Two reactors, the Prairie Island Reactor and the
3 Vermont Yankee Reactor, applied at that time for such
4 amendments. They became the focal point of this in the legal
5 forum; and it went to court.

6 The United States Circuit Court of Appeals did not
7 vacate the license amendments, but it did remand to the
8 Nuclear Regulatory Commission an issue in 1979. Notice that
9 three years had passed in this litigation.

10 What they said is the NRC should determine whether
11 there was reasonable assurance of high-level waste by the
12 years 2007-2009. That very precise window of two years, one
13 year plus or minus one, is derived from the expiration dates
14 of the licenses for those two reactors at that time.

15 There is no precision of such nature associated
16 with the storage or disposal of waste. Those were legally-
17 derived dates and they were associated with the then-valid
18 operating licenses of those two reactors.

19 The second issue was: Is there reasonable
20 assurance that one can safely store this fuel in the
21 meanwhile?

22 Two issues: Are you sure there will be waste
23 disposal? And, can the waste be handled safely in the
24 meanwhile?

25 The Nuclear Regulatory Commission held this Waste

1 Confidence Proceeding, and this is a quotation from what they
2 said, ". . . solely to address those two issues generically
3 to validate or invalidate licensing proceedings in reactors."

4 In doing this, in 1984 the Nuclear Regulatory
5 Commission issued five Findings. I have three on this page
6 and two on the next page. The first one is that disposal in
7 a repository is feasible based on a technical evaluation that
8 it is feasible to have deep geologic disposal.

9 The second Finding: At least one repository will
10 be available; and notice those dates: 2007, 2009. They
11 derive from the court case, and actually derive from the
12 then-current expiration dates for two licenses. And, the
13 repository capacity will be available within 30 years to
14 dispose of all spent fuel and high-level waste generated.

15 There is an implication in that that not only will
16 a repository open, but capacity to handle all of the spent
17 fuel will be available within 30 years.

18 Thirdly, spent fuel and high-level waste will be
19 safely managed in the meanwhile. Fourth, spent fuel can be
20 stored safely for at least 30 years--that is to accommodate
21 the time delay--and sufficient storage capacity will be
22 available if needed.

23 So you see the Nuclear Regulatory Commission's
24 Finding covered the spectrum of it is feasible to have deep
25 geologic disposal; we expect that it will be available in a

1 timely way; and we expect that the matter can be managed
2 safely in the interim.

3 DR. CARTER: The clock started running in 1984. Is
4 that right?

5 MR. BERNERO: That statement was dated in 1984 and
6 the revisit was, therefore, pledged for 1989, which we did
7 do.

8 DR. CARTER: But the 30 years originally was from--

9 MR. BERNERO: The 30 years was a judgment call
10 about how long after it would take. There is a great deal of
11 debate about what is the right planning basis.

12 There is an unfortunate tendency--you see it here
13 already--that due to the expiration dates of the licenses and
14 the magical appearance of 2007-2009 there is almost the
15 implication that one is dealing with something that is true
16 to a certain year plus or minus one; and that thought process
17 is wrong.

18 You are not dealing here in weeks, months or years.
19 You are dealing in decades. You can fairly and honestly
20 speak of decades as the time scale of interest; and you will
21 see that as we went through the 1989 Finding.

22 I am going to skip over. There are rulemakings--
23 these are administrative detail in Parts 50 and 51--that are
24 necessary for us to administratively deal with that waste
25 confidence.

1 Basically, in 1979, we went back to look at the
2 issues that were considered and said, "What do we know how,
3 five years later, that is different?" Certainly a lot
4 happened in the high-level waste program between 1984 and
5 1989; or, to put it more accurately, a lot failed to happen
6 between 1984 and 1989.

7 We looked at the issues: technically acceptable
8 sites in a timely fashion, and you know that was the period
9 during which we went from a group of sites down to three
10 sites down to one site, and then stopped doing anything on
11 the one site; timely development of waste packages and
12 engineered barriers; institutional uncertainties; continuity
13 of waste program management--all troubling issues; continued
14 program funding, and you know that the Nuclear Waste Policy
15 Act got into the 1 mil per kilowatt hour right at the
16 beginning of this time period; and the Department of Energy
17 schedule for repository development.

18 All of these issues were looked at again. We then
19 said, "Well, let's look at those Findings and let's see if
20 there is anything different."

21 The original Finding Number One is quoted right
22 here: "The Commission finds reasonable assurance that safe
23 disposal of high-level waste and spent fuel in a mine
24 geologic repository is technically feasible."--we went over
25 all the aspects of that decision, you can find that in our

1 analysis which was published for comment and later published
2 as the final version this year in the Federal Register--and
3 we could find nothing that said that geological disposal is
4 not feasible.

5 Basically we reaffirmed this Finding. It was
6 technically feasible to have mine geologic disposal, and
7 still is.

8 DR. ALLEN: This is the exact wording?

9 MR. BERNERO: Yes; and we stand by that.

10 We considered the packaged waste forum processing,
11 back fill sealants. If we look at that, we don't find
12 anything that discourages us other than programmatic aspects.
13 We would certainly like to see more.

14 Original Finding Number Two: Will it be available?
15 That 2007-2009.

16 In 1989 we had not yet received the November report
17 to the Congress. Remember when the Department of Energy
18 wrote what was called the 60-day report? They were
19 responding to the congressional challenge: What are you
20 doing about these endemic schedule slips?

21 They said: This is what we are doing about the
22 endemic schedule slips. We are giving you a whopper all at
23 once; and the schedule slipped to 2010 for repository
24 operation.

25 We looked at this and we said, "First of all this

1 Finding focused unduly sharply on the 2007-2009." The 30
2 years was kind of pulled out of the air. What is a safe time
3 scale for storage?

4 What we have is an analysis that supports not this
5 original Finding, but a revised Finding that says this: that
6 there will be at least one repository by the end of the first
7 quarter of the next decade. That also happens to be the
8 beginning of the next millennium. It really gives you that
9 sense of time.

10 I would reiterate the point I made before: that to
11 be rational one must think in terms of decades. This is not
12 to say to put off generation after generation, but it is not
13 accurate, it is not necessary to think in terms like 2007-
14 2009.

15 So the end of the first quarter, 2025, and then 30
16 years beyond the licensed life of any reactor entails the
17 possibility, which is very real, that reactors originally
18 licensed for 40 years will have their licenses extended by 10
19 or 20 or 30 years--we don't know: it depends on the technical
20 merits--and then one is faced with the prospect that a
21 reactor can be generating spent fuel for the initial 40-year
22 life for perhaps as much as 30 years life extension and maybe
23 30 years after shut-down, speaking in institutional terms.

24 You can easily add up numbers to get 100 years.

25 When one looks at this sort of scale and looks at

1 the program, we recommended and changed the Finding to this
2 revised 2025 date.

3 DR. CARTER: Bob, do you anticipate that license
4 extension for commercial reactors will be blocks on the order
5 of 10 years, 5 years?

6 MR. BERNERO: Oh, yes. I would say at a minimum 10
7 years.

8 The planning and construction time for new
9 generating capacity has to be at least 10 years. You cannot
10 realistically go up to a power company and, in just a few
11 years, expect them to put new capacity on line unless you
12 would constrain them to something like gas generators, gas
13 turbines: the peaking power units.

14 For base load or major capacity one generally
15 thinks in terms of 10 years. Therefore, 10 years before a
16 license expires the utility needs to know this is or is not
17 going to be extended because otherwise they have to make
18 plans in accordance with that.

19 In general, it is probably not worth considering
20 unless it is 20 years. You would be constantly at the end of
21 the trail with the 10 years, and 20 years would be a
22 reasonable block.

23 There is controversy extant right now on one of the
24 first to apply for license extension. It is a pressurized
25 water reactor and there are metallurgical problems with the

1 radiation embrittlement of the reactor vessel that may forbid
2 plant life extension for that plant altogether and may even
3 effect its license life.

4 However, we expect that plant life extension, where
5 justified, would be in blocks of 10 years. So in here what
6 we have assumed is 30 years.

7 Remember, you are trying to get a mental frame of
8 mind: What is the right expectation for the extent of waste
9 generation by any one reactor and the length of time
10 involved? It really is a bit conservative but I think
11 reasonable to use 40 plus 30: a 70-year operating life.

12 Also, our basis included what had happened to the
13 Department of Energy program. What we said in here really,
14 if you look at all this debate, is that we had slippage in
15 the Department of Energy program. There was a 5-year
16 slippage from repository 1998 to 2003 in the program plan,
17 and then the November 1989 report dropped it from 2003 to
18 2010. It was another seven years.

19 That is a dramatic change.

20 The near-term milestones have slipped and slipped
21 and slipped.

22 DR. CARVER: Bob, I would like to ask you a
23 question about the previous slide.

24 MR. BERNERO: Sure. I am going to go over each of
25 these sub-elements. There is a subsequent slide.

1 DR. CARVER: The question pertained to item (b),
2 there.

3 MR. BERNERO: I am about to turn that up.

4 Yucca Mountain. What about Yucca Mountain? There
5 is no site characterization going on now. Basically we said
6 that the only way to deal with Yucca Mountain is to take a
7 pessimistic approach and look at the time scale that would be
8 associated with arguing about Yucca Mountain: whether arguing
9 about the ability to characterize the site or arguing about
10 the suitability of the site once characterization is
11 underway.

12 Let's postulate it is argued until the year 2000,
13 and then somebody throws up their hands and said, "That is
14 it. That tears it. We walk away from it"; and we make that
15 assumption here in order to look at the span of time. Then,
16 if you haggled until the year 2000, another ten years, gave
17 up on Yucca Mountain at that late date then, we said, it
18 would take probably another 25 years--that was an estimate
19 the Department of Energy made some time ago--to start over:
20 to persuade the Congress and the states, and so forth, to
21 start over with another site.

22 That is where we got the 2025.

23 DR. CARTER: My point was, and I think I
24 understand, the dichotomy. The generic slide says Yucca
25 Mountain will prove suitable. I think it should be

1 unsuitable.

2 MR. BERNERO: Oh, that is an error.

3 DR. CARTER: Either that or you argue both ways.

4 MR. BERNERO: I should have proofed that. Yes.

5 These slides were changed in format on the computer
6 and I did not proof read them. I should have. They were
7 just changed yesterday.

8 The key thing is this 25 years for another site
9 after 10 years of futility on this site. Certainly this is
10 pessimistic. Some might argue it is realistic in light of
11 the history of the program.

12 One of the problems we considered is that the
13 second repository is an important aspect. For political
14 reasons, active work on the second repository was suspended
15 by the Congress.

16 This is a factor that influences the length of
17 time. There is no back-up site. It was one of the real
18 program losses, when the focus was narrowed from three sites
19 to one, that you don't have multiple sites working at one
20 time for A: an assured first repository, you know, higher
21 likelihood of a successful first repository; and the Congress
22 was adamant, don't even talk about a second repository. New
23 England granite. You must not.

24 I think the authorization bill still forbids the
25 Department of Energy to do research on granite. Crystalline

1 rock is a no-no for technical reasons. Most of the
2 northeastern United States has it underneath.

3 That is where the Department of Energy made their
4 estimate, the 25 years; and that is what got us into this.

5 Let me turn to the issues of storage and the safety
6 thereof. We looked at confidence in the storage, and I
7 constructed for you a little while ago in response to the
8 question about plant life extension, 40 plus 30 plus 30. You
9 can institutionally get to 100 years; and it is not
10 unreasonable to say that, institutionally, if you have a
11 licensed reactor you have people for the surveillance and
12 control, and that if you have a life extension of 30 years
13 you still have those people.

14 As we said before, we thought it reasonable from an
15 institutional point of view to say: For 30 years after the
16 shut-down it is not unreasonable to expect institutional
17 control in a full-fledged manner. That is where we are
18 getting 100 years of institutional capability.

19 Then, of course, you get into technical
20 considerations. "Well, if, institutionally, it is okay for
21 100 years, how about physically, technically?"

22 We have licensed dry storage in the time period
23 since the prior waste confidence Finding. We have spent fuel
24 pools now that have had 25, 30 years of storage in water. We
25 are now in a more passive, more inert environment.

1 If you have ever looked into the dry storage
2 designs being authorized right now, basically they are sealed
3 cans containing inert gas. They are very passive, very low
4 temperature, very simple robust designs. When you go in
5 there you don't find failure modes of significant concern,
6 whether wet or dry. They have time scales of even tens of
7 years.

8 Looking at that technically, we are able to voice
9 confidence that these things are not going to come apart:
10 with surveillance, they have a stability we can safely say,
11 with the institutional control, they are safe for at least
12 100 years. I don't even see 100 years as being anything
13 magic in that.

14 The combination of technical and institutional
15 controls is acceptable.

16 The other Findings will go along with that. The
17 original and continued Finding Number Three is: Reasonable
18 assurance that it will be managed in a safe manner until it
19 is available.

20 You can look and the program gives assurance of
21 that. There are different designs now, but the institutional
22 process is basically the same. We don't have an MRS, but we
23 have what I call the lower case MRS: monitored retrievable
24 storage at a reactor site. We have three of them licensed
25 now and more in the pipeline.

1 The original Finding Number Four was that it was
2 going to be at least 30 years, but at that time we did not
3 have plant life extension in mind; and this is a revision to
4 recognize the longer time scale. So there is a change to
5 Finding Number Four.

6 Lastly, Finding Number Five is what it was before:
7 that spent fuel storage on-site or off-site will be made
8 available if such storage is needed.

9 At the time the original Finding was made, in 1984,
10 I think you could have safely asked the Commissioners the
11 question: What is that off-site storage?; and they probably
12 all would have said, "The MRS, obviously." The MRS is now
13 forbidden by law in this sense that it is linked to the
14 repository, but we have had, under the Nuclear Waste Policy
15 Act provisos the development, the authorization, the
16 construction and licensing of dry storage and dry storage
17 capacity taken in conjunction with wet storage capacity; and,
18 for that matter, recognizing the possibility that the
19 Congress may free up the MRS after all.

20 All taken together reaffirm this Finding.

21 Basically what you have here is the Nuclear
22 Regulatory Commission has taken the position that in spite of
23 all the complaint and the comment on the destiny of the
24 program--and there are problems in the program--if you look
25 through the fundamental issue still remains: Can this

1 society continue to generate more high-level waste knowing
2 that it needs to have a practical way of disposal? Can it be
3 confident that a practical form of disposal will be available
4 in a reasonable time, and that the matter can be safely
5 managed in the meanwhile?

6 Basically the Nuclear Regulatory Commission Waste
7 Confidence Finding is yes. Yes, it can be assured that
8 disposal will be achieved, and it can be safely managed in
9 the meanwhile.

10 I will be happy to answer any further questions you
11 have.

12

13 Questions and Discussion

14 DR. LANGMUIR: I am sorry I am a little after the
15 fact on this important point.

16 You point out that the 1984 Waste Confidence
17 Findings included the statement that disposal in a repository
18 is feasible. You then went to the 1989 reaffirmation.

19 I look at the list of issues you examined at that
20 time. Nowhere in that list of issues is any assignment of
21 the geologic environment giving it credit for part of that
22 safety.

23 You list waste package, waste form, and it talks of
24 some back fill sealants; but never does it look as if the
25 Nuclear Regulatory Commission has considered that geologic

1 environment would have any effect or any importance in
2 protecting the environment from the waste.

3 The implication, of course, is that these
4 considerations are sufficient from the viewpoint of the
5 Nuclear Regulatory Commission without giving any credit to
6 the environment.

7 MR. BERNERO: I think that is a flaw of
8 presentation rather than coverage and consideration.

9 The consideration was entirely in the context of
10 geologic disposal; and both by the terms of the Act and by
11 our own expectations in regulatory space the geologic
12 disposal assurance is to be enhanced by all the man-crafted,
13 the human-crafted things: the waste package, form, sealants
14 and so forth.

15 But we definitely did this in the context of the
16 geology: that the isolation in geology is required as a
17 fundamental part of it.

18 The way the presentation comes across, I do
19 recognize, it seems to slight over that. We did not make the
20 decision solely on the basis of engineered safety.

21 DR. LANGMUIR: But you must have assumed some
22 characteristics to that geology, and there are certainly
23 obviously very wide variations in properties.

24 MR. BERNERO: Oh, yes: many different media and the
25 peculiarities thereof, the controversies.

1 This was considered in the first Waste Confidence
2 Finding and re-evaluated now; but, of course, the peculiarity
3 now is that the program is actually focused on only one: the
4 tuff. It remains to be seen whether or not that site as well
5 as that media is compatible.

6 In our re-evaluation we were actually looking for
7 evidence that would say geologic disposal is not acceptable
8 to technically feasible. We are not looking to find
9 acceptability, but looking for evidence that it will not lend
10 itself to a Finding of acceptability after due investigation.

11 We found no indication of that.

12 There are, of course, recommendations. The
13 National Research Council, in their report, has said
14 repeatedly something like at key steps in the way you ought
15 to be considering alternate disposal forms, like don't
16 dispose it all for many years or deep-sea disposal, or
17 something like that.

18 That is always tantalizing. Some of the best
19 lectures I have ever heard are for disposal in the abyssal
20 plain. In many ways this is like the grass on the other side
21 of the fence: it is very green. It sound wonderful.

22 However, our focus here is on the technical
23 feasibility, the confidence that deep geology in the United
24 States is going to be achieved.

25 DR. LANGMUIR: It is still an interesting point,

1 that given all the variety of properties of those geological
2 media we might encounter, some with much less ability to
3 retain things than others, you come up with a conclusion that
4 regardless of what that might be we can still comply with
5 regulations.

6 I think that is an interesting observation.

7 MR. BERNERO: No. What we are saying is that an
8 acceptable site can be found; and we make the assumption that
9 tuff may be an acceptable site. It may not be. We make the
10 assumption that for ten years we will argue the point and
11 then shift, most likely, to another geologic media.

12 I doubt very much that another tuff site is even
13 likely to be considered. We are not tying ourself to the
14 tuff site.

15 We are saying: Is there evidence that says an
16 acceptable geologic repository is not feasible? It is not
17 necessarily a tuff site. It could be salt, it could be
18 granite or basalt, or whatever the alternate would be turned
19 up.

20 DR. CARTER: What sort of criticism did you get as
21 far as the Waste Confidence Proceeding is concerned from
22 those that might have participated? I presume you had a lot
23 of experience at that stage of the game with water storage at
24 reactor sites, but not necessarily that much experience with
25 cask storage.

1 MR. BERNERO: The corrosion environment of spent
2 fuel in a cask and inert at relatively temperatures was
3 rather easy to extrapolate.

4 Most of the criticism I have seen and we have
5 received in the Waste Confidence activity is institutional.
6 Just look at that program.

7 How can you be confident? That is very difficult
8 to answer. When you look at the Department of Energy high-
9 level waste program that John Bartlett is now in--and I wish
10 him well--the leadership has been a problem. The funding has
11 been generally there, but controversial.

12 Even as we speak there is constant argument about
13 it and there is litigation associated with even trying to
14 characterize the site. There is constant political
15 interaction about: Should be put in Nevada because we
16 outnumber them? At the hearing we heard Nevada offer it to
17 Wyoming, and Wyoming left the room.

18 Programmatic or institutional uncertainty is far
19 and away the biggest issue that most people raise. That
20 makes it very difficult because you look there and you say,--
21 I have often thought this myself when I get in a gloomy mood--
22 --"How can I possibly endorse that I was involved in giving
23 this opinion to the Commission for them to promulgate?"

24 I look at that and I say, "How can I believe our
25 society can do that?" But I am old enough I remember when

1 all my classmates were falling at the wayside from polio and
2 the March of Dimes was going to cure polio. That sure looked
3 like a bigger problem to me than getting a high-level waste
4 repository.

5 That easily worked in my lifetime, and what used to
6 be a terrible disease is no longer one.

7 I was involved in the space program, and that was a
8 major technological thing. We could accomplish a great deal
9 there; and in that there was a lot of institutional
10 opposition and institutional problems, and there still is
11 today.

12 It basically boils down to a judgment. If you look
13 at the technical facts, is that the obstacle? Can one point
14 to difficulties with the geologic media, difficulties with
15 the waste package, difficulty with how to drill a hole or an
16 entrance ramp as the critical path as the real problem? They
17 are not.

18 The critical path for the development of a high-
19 level waste repository in this country is institutional. And
20 so, the judgment that one makes is going to come again and
21 again to that; and the comments and the criticisms will come
22 again and again to that point.

23 They are not technical issues. It is not because
24 we discovered that carbon-14 leaks out of tuff, or may leak
25 out of tuff depending on the model you use. No. It is

1 that you may not even be able to investigate the site, or you
2 may not even be able to investigate the eastern repository
3 sites.

4 DR. CARTER: How many current reactor sites now are
5 storing spent fuel for multiple reactors?

6 MR. BERNERO: The only sites that are storing spent
7 fuel for reactors other than--

8 DR. CARTER: Their own.

9 MR. BERNERO: --the reactor on the site can easily
10 be numbered.

11 First of all, there is a private MRS facility: the
12 General Electric Morris plant, which is an old reprocessing
13 plant that ended up storing 700 tons of spent fuel that
14 belongs to a number of other reactors, mostly very old
15 reactors that had contracts for reprocessing.

16 DR. CARTER: I presume its capacity is full.

17 MR. BERNERO: It is full. It is a water pool. It
18 is right across the road from the Dresden Nuclear Power
19 Station in Morris, Illinois; and it is full.

20 In the southeastern United States you find two
21 utilities which own multiple sites: Carolina Power and Light,
22 and Duke Power Company. They are adjacent utilities. They
23 have both used a system approach to the optimization of spent
24 fuel storage and handling.

25 They have shifted spent fuels from one to the other

1 of the sites they own. In particular, Carolina Power and
2 Light has shifted between the Brunswick Plant, which is on
3 the ocean at Wilmington, North Carolina, and over to the H.
4 B. Robinson.

5 They had authorization to shift to Harris. I don't
6 know if they have done it yet; but they have three plants:
7 Sharon-Harris, H. B. Robinson and Brunswick. They even own
8 their own rail cask. They now have dry storage licensed at
9 H. B. Robinson.

10 It is a real checker game of how they are managing
11 their spent fuel, but basically you can treat them as a
12 system: Carolina Power and Light's three sites. Similarly,
13 the Duke Power Company has a system approach for McGuire,
14 Catawba and Oconee; and, now, Oconee has dry storage
15 licensing.

16 Those are the only ones I know of.

17 There is another consideration. I believe the
18 Shoreham fuel may be shipped to another site because Long
19 Island Lighting Company owns a large part of Niagara-Mohawk's
20 Nine Mile Point Unit 2; and they are similar reactors. They
21 may be able to use the fuel.

22 DR. CARTER: Is there any prohibition as far as
23 licensing is concerned against companies exchanging these
24 fuels or storing it? Could Duke Power, for example, store
25 fuel for Carolina?

1 MR. BERNERO: Legally and environmentally in
2 licensing space, yes, they can certainly do it; but lots of
3 luck.

4 The Rancho-Seco people, the Sacramento Municipal
5 Utility District, has whistled in a few ears to see if they
6 could find space. They would just like to get it off their
7 site. To my knowledge, no one has offered yet.

8 It is an institutional burden that a utility taking
9 a systems approach can handle their own. General Electric
10 took that only because they had contract obligations. They
11 certainly were not interested in the storage business.

12 DR. CARTER: In 10 CFR 70, part of the title refers
13 to independent storage. What does the "independent mean"?

14 MR. BERNERO: The original intent of that
15 regulation was that it would be independent of the reactor
16 facility itself. To put it simply, when you go to a nuclear
17 power reactor the spent fuel comes out of the reactor under
18 water, because it is very hot and you don't want to hang it
19 in the air for more than a moment, and it is transferred by
20 manipulators, racks or some mechanical devices in the water
21 shielding, and cooling, to storage places in a spent fuel
22 pool. It does not go into a cask.

23 An independent spent fuel storage facility is one
24 to which the fuel comes in a shipping cask. The shipping
25 cask may just go across the yard, but it is nonetheless a

1 shipping container. It is a movement of the fuel out of this
2 water environment of the reactor itself and its water pool
3 into a container for transfer to an independent facility
4 which, itself, could be water shielded, like the General
5 Electric Morris facility is, or it could be dry.

6 DR. CARTER: But at a different--

7 MR. BERNERO: Yes, but at a different location.

8 DR. ALLEN: If, in fact, we did fritter around so
9 that we are approaching 100 years and still trying to get rid
10 of this stuff and, at that point, we finally decided that
11 Yucca Mountain was suitable, at that point would there still
12 be a sufficient proportion of young fuel so we could attain
13 the temperatures that, at least currently, are envisaged as
14 necessary for the performance at Yucca Mountain?

15 MR. BERNERO: To attain the temperature? I think
16 it would more likely be that it would be less than the design
17 temperature. The fuel would be a lot older than the design
18 basis.

19 DR. ALLEN: The current idea, as I understand it,
20 is that it would be well above the boiling point with some
21 good reasons.

22 MR. BERNERO: Yes.

23 DR. ALLEN: Could we still attain that?

24 MR. BERNERO: Yes, but you would not seek to attain
25 that. You would just seek not to exceed it.

1 Older fuel is better. It is cooler.

2 CHAIRMAN DEERE: I think that is true, but in the
3 current design they want to maintain the temperature above
4 boiling point for 300 years, minimum.

5 MR. BERNERO: To keep the water away and--

6 CHAIRMAN DEERE: Right, to keep their water away.
7 This creates other problems that people are looking at.

8 MR. BERNERO: I get the thrust of your question.

9 CHAIRMAN DEERE: That was the thrust.

10 I think somebody gave me the figure--you can
11 correct me--that if the fuel is an average of 80 years old it
12 will not attain boiling temperature. I think this was the
13 figure.

14 MR. BERNERO: If this program dawdled and dragged
15 on for years and years yes, indeed, that peculiar aspect of
16 the design would not be attained. Many people are arguing
17 you should just lower the packing density and plan for that.

18 DR. CARTER: Bob, I have one other question, maybe
19 a difficult one.

20 What impacts, in your opinion, does the Waste
21 Confidence Proceeding results have on a schedule for a high-
22 level waste repository? In other words, if we can store it
23 for 100 years why build a repository? Let's wait a while.

24 MR. BERNERO: That came up in the hearing last week
25 in the Senate. Senator Simpson frequently voices the opinion

1 that storage is an imminent hazard: that it is dangerous.

2 I strongly disagree with him, and we looked at that
3 very carefully.

4 In a sense, it takes some of the pressure off; but
5 at the same time that one can legally, in a proper
6 environmental Federal context, make a Waste Confidence
7 Proceeding and justify license extensions or amendments, the
8 political process in our country often works by different
9 ways; and the ballot in the State of Oregon is a good
10 example.

11 I suspect, certainly the polls now are saying, that
12 the voters will vote to shut down Trojan. Whether or not we
13 have a Waste Confidence Finding is not going to affect their
14 voting. If they vote that way, I don't think it will affect
15 the outcome either because now you have the political process
16 at work.

17 Will the Portland General Electric Company continue
18 to operate, even though they have Federal authorization, if
19 the voters have voted--one poll I heard was 2 to 1--against
20 continued operation?

21 The political process of the country will control.

22 This is certainly an important Finding. It is
23 something we have to do if we are going to do our job and do
24 it responsibly within the law; but I don't see it as
25 persuading the Congress to set the whole program back a

1 generation or something like that.

2 I think the Congress in the past, if anything, has
3 gone in the other direction. They almost want to get the
4 repository by force: focus on one site, and go do it by rigid
5 schedule.

6 DR. CARTER: If you had continuing delays, of
7 course the reactors are continuing to produce used fuel. The
8 question is: How long could you delay this and still make
9 the assumption that only one repository is going to take care
10 of the wastes?

11 MR. BERNERO: At the hearing in the Senate last
12 Tuesday a representative of industry made the comment to the
13 effect that no new reactor or significant change in reactor
14 programs can be expected unless the solution appears more
15 likely: that it is not going to be politically or technically
16 acceptable to the utilities.

17 I forget his exact words, but it was something to
18 that effect: that unless there is a repository there will not
19 be another generation of reactors.

20 CHAIRMAN DEERE: I think I see on the slide you
21 have there the Nuclear Regulatory Commission staff has no
22 basis for decreased confidence in technical feasibility.

23 MR. BERNERO: Oh, yes.

24 CHAIRMAN DEERE: You have been emphasizing the
25 problems may well not be technical, but institutional

1 uncertainties.

2 MR. BERNERO: All we can do is look and ask: Is it
3 reasonable to say we are confident? You can argue about
4 Yucca Mountain for 10 years and then take another 25 years to
5 find another site.

6 I think that is certainly a very pessimistic
7 assumption. And, can it be safely handled in that context?
8 I think the answer is an overwhelming yes.

9 But, again, it is the institutional issues. The
10 technical issues have not surfaced as the critical path.
11 There are rich important technical issues to be addressed in
12 this program, but they are not the impediments, they are not
13 the roadblocks.

14 CHAIRMAN DEERE: Yet, again, many of the technical
15 questions have been taken as institutional reasons. In other
16 words, the technical questions have been answered in the
17 negative and then used as a reason why a site would not be
18 suitable.

19 MR. BERNERO: Yes. This is the argument Nevada
20 makes with Yucca Mountain. They go, really, into 10 CFR 960,
21 the site suitability, and argue that the Department of
22 Energy's own regulation says these are disabling features:
23 that they should not be seeking to develop the site. It is
24 not suitable for site development as distinguished from it is
25 not licensable.

1 I think John Bartlett also said, Tuesday, he has a
2 definite response to the State of Nevada on that issue. I
3 have not see it yet.

4 MR. ROY WILLIAMS: I did not understand your answer
5 to Don Langmuir's question and I think it deserves pursuit.

6 Exactly what geological technical issues did you
7 consider to reach this reaffirmation?

8 MR. BERNERO: We looked at the media that had been
9 evaluated in the past--and you know the spectrum of media--
10 and we looked at the media that are currently being
11 evaluated, not just tuff, and the assessment thereof--we are
12 deeply involved in the idea of performance assessments to
13 determine whether or not repository performance is
14 acceptable--and the range of issues that are available in
15 that: the fracture flow and so forth.

16 I am not sure how to answer you beyond that point.

17 We are not Finding an acceptable site. We are
18 trying to ask: Is there something in the technical
19 feasibility in geologic media that undermines the scientific
20 expectation that one can find an acceptable medium at an
21 acceptable site?

22 MR. ROY WILLIAMS: What kind of conditions did you
23 look at?

24 MR. BERNERO: I think I am going to have to send
25 you the analysis. I am not sure what you are seeking.

1 Did we look at fracture flow or ground water
2 transport in an unsaturated medium?

3 MR. ROY WILLIAMS: Did you?

4 MR. BERNERO: That is certainly an issue we are
5 looking at. I don't see how that would enter into the
6 Finding of: If it is unsaturated, therefore it cannot be an
7 acceptable medium. It may be a difficulty with the medium,
8 but not with geological disposal as such.

9 I was trying to make the distinction that we are
10 not trying to find and say anything even remotely like Yucca
11 Mountain is the basis of confidence whether or not Yucca
12 Mountain is unacceptable. It may be unacceptable because
13 tuff is unacceptable: that it is too fractured, you cannot
14 predict the ground water transport, and a whole bunch of
15 reasons like that; just tuff itself.

16 Then it may be that that site is an unacceptable
17 site for tuff. It may be the wrong place. The Calico Hills
18 may swiss cheese or the ground water table pumps up and down
19 too much, or the vulcanism or seismicity are too threatening.

20 We are not trying to find acceptability of a site.
21 We are trying to address the concept of geologic disposal.
22 Is there some information that has developed in the last five
23 years that undermines the basis of confidence that says
24 geologic disposal is technically feasible?

25 It is almost like proving the negative.

1 DR. PRICE: On your Finding Three, that the Nuclear
2 Regulatory Commission finds ". . . reasonable assurance that
3 high-level radioactive waste in spent fuel will be managed in
4 a safe manner," did you have any difficulty with respect to
5 that Finding regarding the issue of whether or not there is
6 an overall system integrator or system manager that cuts
7 across institutional barriers and institutional lines?

8 MR. BERNERO: No, but we talked about that a good
9 deal. In fact, in two respects we talked about that.

10 One, it has been assumed for a long time that the
11 MRS program managed by the Department of Energy would become
12 the system manager in the sense of taking possession FOB your
13 loading dock of all the spent fuel by date certain, and then
14 having an integrated program to collect it, store it, package
15 it, do whatever is done with it.

16 That is not working out institutionally. We have
17 considered individual reactor owners treating their own plant
18 or, as in the case of the two reactor owners I mentioned each
19 of which has three sites, having a smaller system management
20 with a narrower horizon: just safe storage.

21 The secondary aspect we looked at in that was: Is
22 there a system criterion that would mandate, perhaps, or
23 militate toward: You ought to have compatibility between
24 your storage systems and your transport systems, and for that
25 matter your disposal systems.

1 There is a concept. If you go to the Oconee
2 Nuclear Plant you find they are licensed to dry store fuel in
3 a stainless steel can that holds 24 fuel assemblies. It is
4 certainly a tantalizing prospect to go in the reactor pool
5 and put in 24 PWR fuel assemblies, seal-welded, inert gas--
6 nice and dry, and all that, pick up that canister in a
7 shielded shell, take it out in the yard, store it in a
8 concrete bunker for 100 years, and then have a railroad car
9 that is a hollow shell: slide the canister into it, close it
10 ship it to a repository, and put it in a hole right in the
11 repository.

12 It is a very attractive prospect, but the system
13 engineering, the system management that goes toward taking
14 all of those things into account at the front end before you
15 license the storage is not done.

16 However, what we have looked at is: What am I
17 losing in radiation safety, in risk and in cost by not taking
18 that system management into account?

19 We have done that and it is not a whole lot. It is
20 pretty hard to justify that compatibility because of the
21 radiation exposures involved and the costs involved with
22 saying this canister is good only for storage.

23 Those costs are not that high. Therefore, it may
24 very well be, even by good system engineering, uncoupled from
25 the requirement.

1 DR. PRICE: Is there a report on this?

2 MR. BERNERO: We did a Commission paper about a
3 year, year and a half ago right at the beginning of this mode
4 of storage. I could check and see what we have on that.

5 DR. PRICE: I would sure like to see it.

6 MR. BERNERO: It was done in conjunction with the
7 code licensing primarily. One of the reasons we were looking
8 at it: I mentioned that Carolina Power and Light owns their
9 own shipping cask?

10 They have that same dry storage concept in a
11 smaller diameter at the H. B. Robinson site and they use the
12 rail cask as the shipping shield. They slip the canister
13 into that, move it across the yard and pull the canister out.

14 So you already have apparent compatibility in that
15 one case.

16 DR. CANTLON: Since it is the institutional problem
17 that is the problem, not the technical one, the absence of
18 this total systems approach to it is the public's concern.
19 They don't see the system operating in a perceptibly safe
20 way.

21 Maybe that's part of the difficulty we are having
22 that some of the other nations who have looked at it in a
23 somewhat more ordered, systematic way are avoiding.

24 MR. BERNERO: If you would say that, the system of
25 storage is the same here as it is in Europe. We are a little

1 farther ahead because we have more spent fuel. We are in dry
2 storage whereas the Europeans have not done that. The
3 Germans are more or less into something similar to it.

4 The system of transport is the same. The only
5 difference there is, once again, the Germans are willing to
6 certify nodular cast iron and we will not. The system of
7 disposal: their programs are on no earlier time scale than
8 ours, some later. Most of them are now more or less the time
9 scale as the Department of Energy proposes.

10 I do know the public perceives transportation as a
11 horrendous risk. The British spend 2 or 3 million pounds to
12 destroy a train. They got the Flying Scot going 100 miles
13 and hour and hit a cask. I asked them before they did it,
14 "What are you going to prove? We have gone that route in the
15 United States." They put on television, and it did not
16 persuade a soul.

17 If you put a radiation propeller on anything it
18 creates fear and it is an almost hysterical reaction, like
19 irradiating food. 50 percent of the chicken in the United
20 States is contaminated with salmonella and you have to cook
21 it out. Probably--I am just guessing--a third of our 24-hour
22 flu bugs are salmonella poisoning, and yet if anyone proposes
23 to irradiate chicken to kill the salmonella you will get
24 shot.

25 DR. PRICE: The future looks as if there is not

1 immediately available an MRS and a repository that the amount
2 of handling that is going on, such as you described by South
3 Carolina Power and Light and so forth, is going to be
4 increasing; and that there will be shuffling back and forth
5 to find room and find space, and such things, that without
6 such a systems integrator the overall view is one of some
7 unnecessary handling which can be perceived by the public as
8 increasing the dangers of this: the more you handle it, the
9 more chances you have for accidents.

10 MR. BERNERO: That is the thing we looked at: the
11 unnecessary handling that we postulated was going from the
12 spent fuel pool into the dry storage, and then having to come
13 back to the spent fuel pool for transfer to a shipping cask;
14 and then the shipping cask going the way it would go in any
15 event.

16 What we analyzed was that unnecessary step. We did
17 a close look at the time study. How many millirem minutes do
18 you get doing this or that step of seal welding and transfer;
19 and it is not that much.

20 DR. PRICE: Did you assume that no accidents or
21 incidents could occur?

22 MR. BERNERO: Oh, we looked at accidents, yes.

23 We are talking about heavy equipment handling in an
24 optimized fashion. This has been done for many years. The
25 equipment is redundant and the shielding is taken into

1 account. The whole process, as low as reasonably-achievable
2 doses, has been followed.

3 As a result, we have a pretty straightforward set
4 of activities: very well understood, well practiced and no
5 big risks.

6 DR. PRICE: No spent fuel assembly hangs up on
7 another while you are drawing it out?

8 MR. BERNERO: Oh, no. It happens. In fact, right
9 now the Indian Point 3 reactor had a problem that some
10 reactor internals were pulled out. Guess what? Two spent
11 fuel assemblies were hanging under it.

12 DR. PRICE: That is why I mentioned this.

13 MR. BERNERO: That happens. They have dropped.
14 Spent fuel assemblies have dropped.

15 Basically the accident mode when you drop a spent
16 fuel assembly, the mechanical damage can breach the cladding
17 and cause the gap activity to come out. But typically you
18 are dealing with the fuel is either in the water all the time
19 or it is just briefly above water. In fact, in all the
20 plants I know of it is always in the water so you get a
21 natural scrubbing from the water. Fuel-handling accidents
22 are relatively low in consequence, and the buildings are also
23 filtered just for that reason.

24 DR. PRICE: I think we would very much like to see
25 that study you are describing if you could get hold of it.

1 MR. BERNERO: Okay. I will get some material
2 together. All the fuel-handling accidents are treated in the
3 reactor licensing in the first place. They are postulated
4 accidents.

5 DR. VERINK: I was intrigued by your comment about
6 the contrast in views between the Nuclear Regulatory
7 Commission and the Germans with regard to nodular cast iron.

8 Is that information available somewhere?

9 MR. BERNERO: Yes.

10 DR. VERINK: What is the basis for that?

11 MR. BERNERO: It is a point of some difficulty.
12 There are international standards for the shipment of high-
13 level radioactive waste: spent fuel and the like. The
14 Nuclear Regulatory Commission certifies casks and we conform
15 with international standards.

16 The casks are generally designed to be so robust
17 that there are no abrupt failure mode, and the failure mode
18 of concern is leakage: a slight breaching of a seal or
19 radiation leakage, leakage of contaminated water, whatever.

20 The introduction of nodular cast iron was proposed
21 by the Germans quite a few years ago as a compatibility
22 concept: a cheap cask that could be used for shipment and for
23 storage, and possibly even for disposal; and because of its
24 low cost nodular cast iron would be desirable instead of the
25 alloy steel previously used.

1 The alloy steels previously used have elongations
2 before fracture of 20 percent, 30 percent one can reasonably
3 say. That is ductal steel.

4 How ductal is nodular cast iron? You go to the
5 Black Magic and you can get 5 percent or 8 percent. The
6 question of failure mode exists, and it is a very difficult
7 one: Does that level of ductility, that reduction in
8 ductility introduce what I would call a shattering or
9 catastrophic failure mode as a consideration?

10 There is no question the nodular cast iron can pass
11 the letter of the law. It can pass the impact tests and the
12 puncture tests and the fire tests and the beat-up-tests and
13 drop-it-on-the-end, and all that. But the question is: Do
14 you have the same margin of safety that you have with a
15 structural alloy that has 20 or 30 percent elongation?

16 DR. VERINK: Have you some reason to believe it
17 does not?

18 MR. BERNERO: Oh, yes. Because the elongation just
19 is not as good. There is an evident difference, and the
20 difficulty is: What is the basis of judgment to say, "I am
21 willing to give up that margin"? Is that an ample margin of
22 safety? That is really the argument.

23 DR. VERINK: Is there any kind of a report or
24 document that we could look at.

25 MR. BERNERO: Yes. I will tell Charles McDonald in

1 our Transportation Branch of you interest. Leon knows the
2 man.

3 MR. VERINK: He has a copy of it?

4 MR. BERNERO: Yes. This is a long-standing very
5 sensitive argument.

6 Mind you, here is an arena where we are talking
7 about technical issues the public does not perceive at all.
8 If a truck carrying 8,000 gallons of Shell gasoline comes by
9 their home while their kids are playing and Husband George is
10 smoking a cigarette in the yard, it does not bother them in
11 the least. But if a truck, whether it is stainless steel or
12 nodular cast iron, that has a radiation propeller is in the
13 same situation, it is a source of panic.

14 The public perception goes beyond any such
15 technical consideration.

16 DR. PRICE: Is there a suggestion here that for
17 some of these specific considerations the tests are not
18 adequate since it will pass all the tests?

19 MR. BERNERO: Yes. See this has been a long-
20 standing argument in transportation safety.

21 Transportation safety is a classic definition of
22 deterministic regulation. The design basis is very simple
23 deterministic tests: a 30-foot drop on an unyielding surface;
24 a drop onto a puncture member of such and so size, so many
25 inches long; a fire for 30 minutes at 1,475 degrees

1 Fahrenheit; et cetera, et cetera.

2 These are deterministic arguments or tests that
3 many members of the public have challenged. "Gee, I drive
4 down a road where, if you fall off the side of the road, you
5 can fall more than 30 feet"; these interchanges that go
6 layers high.

7 As a result, we have done risk assessments of
8 transport risk taking into account the full spectrum of
9 possible conditions in the world. Time after time we have
10 found that devices tested, developed and certified against
11 those deterministic standards have an abundant margin of
12 safety for the realistic spectrum of environments you see in
13 the world, even the worst-case accidents.

14 But included in that is an insight into the value
15 of 30 percent elongation in a steel. You can learn something
16 from the risk assessment, if anything, one can ask the
17 question: Should I change the regulations and add to it that
18 the elongation of the alloy in question, before fracture,
19 shall be greater than, I will say, 15 percent or 20 percent,
20 or some number.

21 That is certainly a valid consideration.

22 DR. BARNARD: Could you briefly describe a bit
23 about the process involved in getting Waste Proceeding out?
24 Is this in terms of time and manpower?

25 MR. BERNERO: Yes. The Waste Proceeding is a

1 policy statement or a rulemaking procedure whereby the issues
2 are posed, a staff group--in this case it was a mixed group
3 from the rulemaking office, which is the Office of Research,
4 from the General Counsel's Office and from my office, Nuclear
5 Material Safety and Safeguards.

6 The technical analysis was put together to consider
7 and to modify, as appropriate, the findings. Then that went
8 to the Commission. It was proposed to the Commission that:
9 Here is what we ought to do in 1989 subject to alteration and
10 modification by the Commission. It was published as a
11 proposed Waste Finding just like a proposed rule. We have
12 done that in the past on policy statements, too.

13 The Commission puts it out as a proposal in order
14 to elicit public comment on the rationale, on the scope, on
15 the justification, on the findings themselves. We get the
16 public comment and then go back. The same team reconsiders
17 the whole matter in light of the comments, and any events
18 that may have ensued in the subsequent months, and then it
19 goes back with a final version of it to the Commission, just
20 as we would with a rulemaking.

21 The whole process took about one year because I
22 think the final publication was just last month in the
23 Federal Register. I have a copy of it if you want it.

24 CHAIRMAN DEERE: The Board members have a copy.

25 MR. BERNERO: We started it fairly early in 1989.

1 It was a little over a year. But we tried to get the
2 proposed version on the street in 1989 with the expectation
3 it would be into 1990.

4 As far as the resources, it is hard to say. I
5 don't know an exact count of what it took. I just could not
6 answer the question.

7 DR. BARNARD: Will you do this again in five years?

8 MR. BERNERO: No. You will find, in the fine
9 print, we said ten years. If we are going to think in
10 decades, we are going to think in decades.

11 The five years was an unduly strict thing
12 considering the previous finding took five years to develop.

13 The lawsuit was in 1976, the court remanded it in 1979 and
14 the finding was in 1984.

15 CHAIRMAN DEERE: I believe we would now like to
16 open up the session for questions from the audience.

17 DR. REITER: I was just glancing over the Federal
18 Register and I think you alluded to the question both Don
19 Langmuir and Roy Williams asked: Did the proceedings look at
20 the concept of the technical feasibility of repository
21 geological aspect?

22 If I understand the Federal Register--I think you
23 alluded to this,--the way it interpreted it was: Is there an
24 acceptable site for a repository? I think the words were
25 that the technical feasibility of a repository rests

1 initially on the identification of acceptable sites.

2 The reason, if I understand it correctly, that they
3 still supported that was the fact that because of the work
4 the Department of Energy has done at other sites, even if
5 Yucca Mountain proves unacceptable or unsuitable, there still
6 will be other sites available.

7 MR. BERNERO: Yes. In essence that we have not had
8 a pattern of scientific development in the last five years,
9 now six years, that says the potential media are falling by
10 the wayside--that now it is not feasible to consider this
11 full spectrum of media, that only half or one-third of them
12 may quality--that would be a signal.

13 If we were developing evidence in our program--and
14 we follow the European and other nations' programs quite
15 closely--that suggested that a range of media were not
16 available. But, again, we are being very careful not to tie
17 to the Yucca Mountain tuff bandwagon--

18 DR. REITER: Yes, that is very clear.

19 MR. BERNERO: --because that is not a basis for
20 confidence.

21 DR. REITER: I have two other short questions.

22 Given the fact that they expect a lot of plants to
23 come in for license renewal, would this automatically
24 indicate that a repository with a 70,000-ton limit would not
25 be sufficient?

1 MR. BERNERO: Oh, I think that is fairly evident
2 now.

3 Right now in the United States we have about 20,000
4 metric tons of spent fuel on hand. If you project the
5 operating life of all the operating reactors over their
6 licensed life span, I think you will get 70,000 tons more or
7 less. If you have any life extension, you would go over
8 that.

9 There is one thing a lot of people forget about.
10 Under the law high-level waste belongs in the repository.
11 The Department of Energy is responsible to put high-level
12 waste there.

13 If you go up to the Hanford Reservation, there is
14 an old reactor up there, the N reactor, which shut down after
15 Chernobyl. You will find in storage up at Hanford 2,000
16 metric tons of spent fuel from that reactor. It was used to
17 generate electric power for the Washington Public Power
18 Supply system.

19 That goes in Yucca Mountain, by law. If it is
20 reprocessed, the reprocessing waste goes in Yucca Mountain.
21 All of the high-level waste tanks at Hanford, the high-level
22 waste tanks at Savannah River, the two high-level waste tanks
23 at NFS West Valley, and the high-level waste from Idaho--
24 these are all defense system or other high-level waste--has
25 to go in Yucca Mountain or wherever.

1 If you go after the miscellany that people don't
2 normally think of or talk of, you are going to eat up a lot
3 of the capacity of 70,000 metric tons; and I don't know how
4 much.

5 DR. REITER: Is it evident at this point that a
6 second repository will be necessary?

7 MR. BERNERO: I think so. I think certainly
8 license renewal makes it.

9 It is possible that 70,000 tons may require a
10 second one or a modification of 70,000 tons because it is a
11 squeeze.

12 DR. REITER: Is the independent spent fuel
13 considered an MRS in a legal sense?

14 MR. BERNERO: Yes. The original license at General
15 Electric, Morris was under Part 50 of the regulations. The
16 license was modified some years ago to be under Part 72.

17 When we license dry storage--like at Oconee or H.
18 G. Robinson--those are licenses issued under Part 72, ISFSI;
19 and the MRS, if and when the Department of Energy chooses to
20 build one, would be licensed under Part 72, also.

21 DR. REITER: There is a part in the amendments that
22 says you cannot build an MRS: the MRS is linked to--

23 MR. BERNERO: Oh, yes. That is a programmatic
24 linkage.

25 DR. REITER: Is the building of additional ISFIs

1 also linked to that?

2 MR. BERNERO: No, it is not. Only the MRS with
3 capital letters, the Department of Energy's facilities.

4 DR. REITER: Theoretically one could build
5 additional--

6 MR. BERNERO: Oh, yes.

7 DR. REITER: --spent fuel storages?

8 MR. BERNERO: They are doing it. We have a line of
9 applicants now--we are reviewing and licensing dry storage--
10 which are "mrss" with lower-case letters. They are
11 individual reactor owners.

12 MR. TOURTELLOTTE: I would like to follow Leon's
13 question with one pertaining to the plant life extension or
14 license renewal.

15 Don't you think there is a strong likelihood that
16 if there is not some solution found within the next decade
17 relative to the disposal of high-level waste that could
18 adversely affect the licensability of extension of licenses
19 for existing plants? If not, why; and what can be done about
20 it?

21 MR. BERNERO: To paraphrase your question, if a
22 solution on high-level waste is not more evident in the near
23 future will not this inhibit the granting or consideration of
24 plant life extension under the licensing procedures we are
25 talking about at the Nuclear Regulatory Commission?

1 Yes, it can certainly inhibit it. I would say that
2 having heard what the gentleman from Florida Power
3 Corporation said at the hearing last Tuesday new reactors are
4 certainly not going to be forthcoming unless some solution is
5 in the offing. I think that is probably true for a
6 substantial amount of plant life extension.

7 However, that is speculation on my part. The
8 problem with plant life extension is: If you own a reactor
9 there is a date certain by which you have to consider plant
10 life extension because your license is going to expire in the
11 year 2007 or something like that.

12 That means that if it is 2007 expiration you better
13 have your ideas all sorted out by 1997; and that is not very
14 far off. I think that is a real problem for utility people
15 to decide whether or not they will go for life extension.

16 I am certainly not in a position to say what might
17 be done about it. I would just say the program on high-level
18 waste should proceed in an orderly fashion. We are trying to
19 do what we can to see to that.

20 I don't see anything else we can do.

21 MR. TOURTELLOTTE: One of the points of my question
22 is that in order to get to the point where license renewal
23 requires added storage area one has to assume that those
24 license renewals can actually take place.

25 I am suggesting that if the high-level waste issue

1 is not solved within the next decade that may not happen.
2 Consequently the question Leon had asked earlier would not
3 really come to pass.

4 MR. BERNERO: Let me make a contrast. You used the
5 word "storage".

6 Adequate storage for existing plant life as well as
7 life extension is already available. That is the temporary
8 wet storage and dry storage mixture. It is disposal I was
9 speaking of to Leon.

10 That is a nominal disposal capacity arbitrarily
11 selected. If Yucca Mountain is acceptable it may not even
12 hold 70,000 tons, depending on the packing, density and
13 whatever.

14 MR. TOURTELLOTTE: I actually mis-spoke. I really
15 meant disposal as well.

16 MR. BERNERO: I don't see additional disposal
17 capacity, a second repository in other words, as being on the
18 table for some time to come.

19 MR. TOURTELLOTTE: My second question relates to an
20 issue which did not appear on your slides, but it was one
21 which I think came up recently at the meeting at the National
22 Academy.

23 There is a certain degree of uncertainty about the
24 establishment of regulatory standards and the achievability
25 of those standards which have been promulgated to date. You

1 did not mention those today.

2 What, if any, effect does that have upon the
3 confidence of the Commission, and what effect does it have
4 upon the overall program in your view?

5 MR. BERNERO: First of all, I think it would be
6 worthwhile to make a minor clarification or call for
7 clarification in that area.

8 I have heard many people speak of undue stringency
9 in standards. I wonder how many of those people have looked
10 closely at what the actual calculations and the actual
11 standards are.

12 In simple terms, if you are trying to assess the
13 performance of a geologic repository the first and simplest
14 calculation you can make is: From the physics, chemistry and
15 the like of package waste form corrosion and transport in the
16 geologic medium, you can calculate the release of a burst of
17 a puff of radioactivity over time scale measured on a
18 logarithmic scale, time scales of thousands of years, where
19 an increment in the analysis is a human life time. A delta X
20 is a human life time.

21 You don't have a great deal of precision in this
22 because of the uncertainty about exactly how big the plume is
23 and the fracture characterization, and so forth.

24 A second level of calculation--much less certain,
25 much more difficult--is to hypothesize a biosphere above that

1 geologic repository. That biosphere is not today's or
2 tomorrow's.

3 It's the biosphere one might expect two ice ages
4 hence or four ice ages hence. Then you are trying to
5 calculate the transport of this stuff into humans living in
6 that biosphere in order to calculate person-rem.

7 You have a spectrum of people who might live there;
8 you are smearing the average out; and what you are
9 calculating are health effects using the linear hypothesis.

10 The last and least certain of all is to be so
11 precise that you will go in there and locate the Jones family
12 in their farming and cultivation and food habits, and
13 calculate individual annual doses.

14 You will have people say the standards are unduly
15 stringent. Are they unduly stringent because the source term
16 is unduly conservative with respect to the next stage? The
17 next stage is unduly stringent with respect to individual
18 dose uncertainty?

19 Or are they unduly stringent because people are
20 inherently using too strict an individual dose: they are
21 using one millirem a year instead of 100 millirem a year?

22 Or, last and far from least,--listen carefully--are
23 the standards unduly stringent because someone is saying "I
24 will protect all future generations": that, that is the
25 design objective?

1 The achievable standards, the consensus of society
2 in establishing these standards in the first place and what
3 has been done is that a reasonable assurance of protecting
4 the public in the future from receiving a radiation dose
5 higher than we would tolerate today can be reasonably assured
6 by some calculational mechanism by selecting a suitably
7 remote geologic site and characterizing it to some sufficient
8 degree.

9 I think we have debated that issue separately. We
10 are still active with the Environmental Protection Agency.
11 At the work shop we talked about it. We even talked about it
12 further in the hearing last week.

13 We are in the next round of comment with the
14 Environmental Protection Agency right now on that point. I
15 think that is a solvable problem; but it would help.

16 If one speaks of stringency, let's be specific.
17 Where is it unduly stringent? What, exactly, does one mean.

18 MR. TOURTELLOTTE: I would make one point. I did
19 not use the term stringent.

20 MR. BERNERO: I know you did not.

21 MR. TOURTELLOTTE: However, the ACRS has used the
22 term since 1980, and the ACNW continues to use the term.

23 MR. BERNERO: Oh, yes; and many others.

24 MR. TOURTELLOTTE: The real issue that I wanted to
25 raise was that it is a fairly widely-held view in the

1 technical community that the regulatory standards, quite
2 reasonably, might not be achievable because of the way they
3 are stated.

4 It seems to me that has everything to do with
5 whether or not we can site a repository and can operate.

6 MR. BERNERO: The comments we have made in the
7 past, the Nuclear Regulatory Commission has made to the
8 Environmental Protection Agency and made available to the
9 public, have challenged the Environmental Protection Agency
10 standards on its implementability. Great changes have been
11 made.

12 Subject to further comment we made recently--Bob
13 Browning wrote a letter to Rich Guimand two months ago with
14 our most recent comments, and we are talking to the
15 Environmental Protection Agency on that subject right now--we
16 think the system is usable and doable.

17 I don't subscribe to the view that we have an
18 uncertainty. We have no way to show acceptable isolation.
19 That would be, indeed, a disabling uncertainty.

20 CHAIRMAN DEERE: Thank you very much, Bob. We
21 appreciate your answering the questions and your
22 presentation.

23 We will now step up our break. Mr. Shaw would you
24 like additional time for your presentation or is 45 minutes
25 sufficient this morning. That will determine if we return at

1 11:00 or a little earlier.

2 MR. SHAW: Why don't we start at 10:45. I could
3 use the extra time if you would like to do that.

4 CHAIRMAN DEERE: Fine.

5 Please be back here at about 10:45.

6 [At 10:23 a.m., the hearing was recessed to
7 reconvene at 10:48 a.m., this same day.]

8 CHAIRMAN DEERE: May we reconvene, please.

9 Our second presentation today is by Mr. Robert A.
10 Shaw, who is the Senior Program Manager, High-Level Waste
11 Program of the Electric Power Research Institute. His topic
12 today will be the Overview of the EPRI/EEI High-Level Waste
13 Repository Methodology.

14 Mr. Shaw?

15 OVERVIEW OF EPRI/EEI HIGH-LEVEL WASTE REPOSITORY METHODOLOGY

16 Robert A. Shaw, Senior Program Manager, High-Level Waste
17 Program, Electric Power Research Institute

18 MR. SHAW: Thank you, Don, for the introduction.

19 When I had the opportunity to speak with you last
20 December things were a bit different than they are now both
21 in what we have done and in the industry situation. I might
22 spend a few minutes reviewing the situation that existed
23 then.

24 A few years ago the utilities got noticeably
25 concerned about the progress or lack of progress about the

1 Department of Energy program on the high-level waste
2 facility. Nonetheless as we entered a seemingly new period
3 with First Admiral Watkins and, subsequent to that, John
4 Bartlett coming into their present roles the utilities
5 withdrew, at least a little bit, and said, "All right, let's
6 give an opportunity for this whole process to occur to see if
7 maybe we cannot improve the situation and get more progress
8 than we have had in the past."

9 At about the same time, ACORD--the American
10 Committee on Rad Waste Disposal, which is a utility
11 organization of utility executives which establishes policy
12 for the variety of utility organizations regarding rad waste
13 disposal--and EEI suggested that the Electric Power Research
14 Institute might conduct some research that would enhance the
15 Department of Energy's program.

16 As I mentioned to you when I spoke here last
17 December, we had a research program in the seismicity area
18 which was concerned with east coast earthquakes, in which we
19 made significant use of expert judgment in order to come to
20 some opinions and determinations, uncertainties, predictions,
21 et cetera, with regard to the likelihood and intensity of
22 earthquakes on the east cost so nuclear plants could submit
23 license indications for whether or not they were sufficiently
24 protected from such earthquakes.

25 This process was accepted by the Nuclear Regulatory

1 Commission as an appropriate way to deal with some of the
2 changes and the concerns regarding east coast earthquakes.
3 That whole process worked quite well: a process in which
4 expert opinion was pulled together, consensus was determined,
5 models were developed and decided upon, and uncertainties
6 were used.

7 It seemed to us to fit very nicely within the
8 purview of the whole question of the high-level waste
9 repository.

10 So on that basis we moved ahead. At the time I
11 spoke with you last December we had just begun the whole
12 process of collecting together an expert team and putting it
13 together in order to fashion a methodology for the analysis
14 of the high-level waste repository.

15 We had as our objectives at that time--and have
16 continued, through the process, to have as our objectives--
17 first to develop an integrated methodology for early site
18 performance assessment, and to identify and prioritize
19 crucial issues.

20 The essence is that we would like to have sort of a
21 quick and dirty overview that says: What does our analysis
22 show with regard to a performance assessment for Yucca
23 Mountain? And, particularly, what does it show with regard
24 to the key crucial issues and how you first identify those
25 crucial issues, technical issues; and how do you prioritize

1 those?

2 I think you will see, as I go through today, that
3 we have a process we believe can do that. We have a
4 framework within which these kinds of calculations can be
5 carried out. I will show you towards the end how we would
6 suggest that prioritization can take place.

7 Secondly, we wanted to involve the Department of
8 Energy in this methodology development and its
9 implementation. I will return to comments on that as we
10 proceed through our discussion here.

11 The first step in our process was to assemble a
12 team. I have listed the names of the people here who are on
13 the assembled team.

14 Our first, possibly naive, approach was to say:
15 Let's collect together experts in various areas which have
16 not been involved with this program so we can have an
17 independent judgment.

18 But it soon became clear that was really a
19 sacrifice that was not necessary; and, in many cases, it was
20 inappropriate, particularly when you come to issues like
21 waste package.

22 You will notice also, as you read down the list,
23 particularly with regard to the expertise, that in most cases
24 we have only one expert for each particular area. As we go
25 through this I would like you to reflect upon the fact that

1 the calculations are meant to be illustrative.

2 This is not a technical consensus wherein we say
3 the parameters and the values we have selected are those that
4 really depict the performance assessment for Yucca Mountain.

5 We tried to get values and scenarios that are reasonable so
6 that, as we look at the overall performance assessment
7 calculations we have done here, one can say, "Yes, that makes
8 sense."

9 We are not saying the conclusions we have come to
10 are definitive, but rather that there are more steps that
11 would be required, in particular collecting together a larger
12 number of experts in the particular areas where there are
13 questions.

14 There are the three people from the Electric Power
15 Research Institute--myself, Carl Stepp and Bob Williams--who
16 have been involved in this, who are listed on this. I would
17 also like to point out that the last person on the list, Russ
18 Dyer, is at the Yucca Mountain project office and has
19 responsibility for performance assessment.

20 Mr. Dyer attended all of our meetings and has been
21 a very valuable participant in this whole program. So that
22 is certainly the first step in us getting the Department of
23 Energy involved in the activities we were conducting.

24 We had a series of meetings with this group. We
25 started way back, July in 1989, with a brainstorming session

1 at which we said, "Will this whole process work? If it
2 works, how would you conduct it? How would you carry it
3 out?"

4 So we laid the ground rules at that point. That is
5 where we decided that a group of the nature and rough size of
6 the one that was depicted on the previous viewgraph would be
7 appropriate in order to carry these out.

8 We had what we call a qualification check in late
9 November where we brought these people together and said,
10 basically, "What is your attitude? How do you feel about
11 probabilistic versus deterministic approaches?"

12 We wanted to check and see if these people
13 integrated in a reasonable fashion. Will they talk
14 with each other? Were they open to new ideas? So on and so
15 forth.

16 In other words, we wanted to develop a team that
17 would work together even though it would only meet in a
18 limited number of opportunities. Having fixed on that team,
19 we got the team together in late December, a little less than
20 a year ago. At that point we defined the problem.

21 We did so using such things as logic diagrams,
22 influence diagrams. We tried to, in a sense, brainstorm the
23 technical features that were vital and important as a part of
24 a whole performance assessment that would take place.

25 Then we met together in January and each of the

1 people came back and said, "Okay, in your area, hydrology,
2 geochemistry," be what it may, "you are responsible for your
3 area. Tell us: What would your model be? Describe the
4 essence of a model for Yucca Mountain surrounding your
5 particular technology; and, as a part of that, tell us what
6 are the inputs that you require in your model from the other
7 participants in order to affect calculations within that
8 model."

9 At that point, that was sort of the outline of our
10 model formulation. In between these times, people worked on
11 their models, came back with their results and, for the first
12 time in April, we integrated that model and actually did a
13 presentation of the model as a result of the integration of
14 all these various technologies that went into it.

15 Of course, we found holes and difficulties and
16 areas where there were inconsistencies and so on, and results
17 that did not make sense. As a result of that we went back
18 and worked again, and we collected together again then at the
19 end of July where we completed that model; and it is the
20 results of that, that you will see here today.

21 As a result of that model completion, we had an
22 opportunity on August 1 to make a presentation to the Yucca
23 Mountain Project Office, members of the Department of Energy
24 and a number of their national laboratory contractors. In
25 addition, of course, one of the members of the Technical

1 Review Board and a staff member were present for that
2 presentation.

3 In addition, subsequent to that, in early
4 September, we had an opportunity to present the same
5 presentation to a headquarters group here, to a couple
6 utility groups, and subsequent to that to the ACNW. It is
7 now, hopefully, refined where we are ready to give it to the
8 superior group: the Nuclear Waste Technical Review Board.

9 CHAIRMAN DEERE: Prestigious.

10 MR. SHAW: Prestigious, okay.

11 [Laughter].

12 MR. SHAW: The basis for our methodology
13 development is a logic tree. I present here a logic tree
14 diagram. You will excuse me if I seem a little elementary in
15 going through this, but I think it is important to go through
16 the structure of a logic tree and how it works, and what it
17 does and what it does not do.

18 If we look at the structure of this logic tree and
19 we say, "There is some kind of an external impact,"--this
20 could be climate change, geology change, so and so forth--and
21 out of that we say, "There are two different events that
22 could occur," of course there is a whole range, almost a
23 continuum of events.

24 One of the elements of a logic tree is that you
25 have made the decision that you are going to take this

1 continuous system and put it into discrete kinds of events.
2 In this particular case we have chosen two. Obviously, there
3 could be as many as you wish, almost an infinite number, of
4 different choices out of here.

5 As you do that, you go from the discrete more and
6 more towards the continuous. We have chosen two here. The
7 P11 and P12 represent the two probabilities of those events
8 occurring. Of course, these must sum to one because we are
9 saying either one or the other of these events occurs.

10 Subsequent to that there could be, for example, a
11 source term result from that in which there were to different
12 possibilities; and, of course, this source term could depend
13 very much on what the particular interaction was.

14 So there is a dependency that proceeds along this
15 path with events to the right being dependent or at least
16 having some dependence on events to the left. Therefore, the
17 dependency occurs in this direction.

18 Of course, each of these paths, as you follow
19 through, would describe a particular scenario that takes
20 place with the release of radioisotopes; and a subsequent end
21 up here would be, in our case, the concentration of
22 radioisotope release from the site boundaries.

23 So this is a series of calculations using logic
24 trees. As a result of that you could take any one of these
25 scenarios--the ends of these trees--which must all sum to one

1 in terms of their probability; and the probability of each
2 one is the multiplication of the products along the
3 particular pathways.

4 With regard to those, in each case there is a set
5 of parameters that describes the scenario that takes place as
6 you proceed. So that is simply a rather elementary
7 description of what we mean by a logic tree diagram and how
8 it all fits together.

9 If you take that, then, you go through any of the
10 scenarios and it gives you a release of radioisotopes as a
11 function of time. Therefore, for each of these scenarios you
12 do a calculation and end up with this kind of a curve.

13 The information on here, of course, is
14 concentration versus time; and it gives you no information as
15 to the probabilities of these particular events occurring:
16 each of these scenarios.

17 The presentation the Environmental Protection
18 Agency has selected is called a complementary cumulative
19 distribution function, and it is constructed by taking any
20 particular time, T-zero, and looking at that graph and
21 starting at the top because this probability says, "What is
22 the probability that you will not exceed a particular value?"

23 You start at the top and come down to the highest
24 value. That would be scenario three, here; and that would
25 give you the first blip up from zero on your particular

1 graph. Then as you went to curve one that would give you the
2 second increase and so on: three, four and so forth as you
3 move up.

4 So as you moved down in concentration you move up
5 upon this graph and it indicates what is the probability that
6 you will not exceed a particular concentration of the
7 radioisotopes that have been released.

8 We proceeded to construct those kinds of curves for
9 this system. The logic diagram that we produced as a result
10 of our deliberations is presented here.

11 Let me first caution you that at every one of our
12 meetings this logic diagram changed. I am sure if we met
13 again it would change again.

14 So we see it as an iterative moving process in
15 which you develop this. The more you know, the more you are
16 familiar with it, the more you say, "Well, we ought to fine
17 tune that a little bit"; but the process we ended up with was
18 to say that we start off with the first step, which is flux
19 infiltration: that is to say, the change in rainfall or other
20 properties regarding the input of water from the surface down
21 into the depths beneath the surface at Yucca Mountain.

22 Our second event was an earthquake-caused canister
23 failure. I think it is obvious an earthquake has occurred
24 and it has caused an actual rupture of the canister itself.
25 In addition, earthquakes could cause a change in the water

1 table. This is another consideration we took into account.

2 We could have volcanic activity that had direct
3 implications on the canisters, themselves, and cause releases
4 of radioisotopes. We could also have a change in water table
5 as a result of these volcanos.

6 Then there is the question of bore-hole stability
7 where you get the release of rock structure from the bore
8 hole itself as a result of possibly volcanos, possibly
9 earthquakes, possibly just stress with time in which you can
10 get canister failure.

11 This leads us to the general question of canister
12 failure. This leads us to the general question of mean
13 canister lifetime. Of course, in a sense, this collection
14 together produces our source term.

15 This says, as a result of these particular
16 interactions you can have a loss of canister lifetime or a
17 loss of integrity of the canister; and, as a result of that,
18 you get a source of radioactivity. Then the remainder of
19 these logic diagrams, 8 through 11, indicate the processes in
20 which transport takes place.

21 The first one has to do with the solubility: the
22 release of material which, in our case, is governed by the
23 solubility of uranium oxide, most probably U_3IO_8 rather than
24 the UO_2 for in which it is disposed of; and then the question
25 of the rock fracture model, which influences the hydrology of

1 the whole system.

2 We have approximately seven different pathways in
3 which water could proceed from the canister to the release;
4 the question of the porosity of the soil and the extent to
5 which that allows the water to move directly; and
6 retardation: that is, the geochemical properties of the
7 system which cause retardation of the particular
8 radioisotopes and, therefore, have some influence on its
9 transport.

10 There is a question forthcoming.

11 DR. NORTH: Could you give me a sense of the scale
12 of that? My quick calculation is you have about 10,000 N
13 points.

14 Is that about right?

15 MR. SHAW: No, not quite.

16 If you had two steps on each one of these, 2 to the
17 10th is 1,000.

18 DR. NORTH: I am picking up the branches as you
19 have drawn them.

20 MR. SHAW: That is just illustrative. We ended up
21 with a little over 1,000 N points.

22 DR. NORTH: So you pared it down.

23 MR. SHAW: We have pared it down. Also, a very
24 important part of our calculation is that we have looked at
25 techniques for reducing the number of calculations you carry

1 out. We will have opportunity tomorrow to talk in a little
2 more detail, when we get into that with the subcommittee,
3 about how we did that.

4 We used calculational techniques to reduce the
5 number of actual tree calculations we carried out.

6 DR. NORTH: I am presuming you used influence
7 diagrams.

8 MR. SHAW: Yes, we did use influence diagrams.
9 That is right.

10 I am not going to go through all of these today,
11 and we will not even go through all of these tomorrow, but to
12 take one example. In the first node, which was the
13 infiltration node, our climatologist said there is a fairly
14 significant likelihood of substantial increase in the future
15 of infiltration because there is a substantial probability
16 that we are in an inter-glacial time now which, over the
17 period of 10,000 years, will certainly proceed toward a
18 glacial time.

19 As a result of that the expectation is that the
20 precipitation will significantly increase at Yucca Mountain.

21 Therefore, we looked at what many people regard as
22 the current net flux of .5 millimeters per year as having a
23 probability of about 8 percent, a probability of 90 percent
24 with regard to the net flux being 1.6 millimeters per year,
25 and a net flux of 4 millimeters per year having a probability

1 of 2 percent.

2 So that gives you a sense of the kinds of things we
3 did as we carried this out.

4 Tomorrow, by the way, in our somewhat more detailed
5 presentation I will have three other people here to assist
6 me. One is the person who did most of the calculations using
7 the logic tree. He will be able to discuss the question you
8 just raised about how we reduce the number of calculations.

9 In addition, I will have two experts here on two
10 areas who will cover, in some detail, just how they went
11 through their calculation. The first will be Mike Sheridan
12 from the State University of New York at Buffalo who will
13 talk about volcanism.

14 Mr. Sheridan will present to you the model that he
15 used to look at volcanic probabilities and how they could
16 potentially impact Yucca Mountain.

17 The other one will be our seismicity expert, who is
18 Kevin Coopersmith from Geomatrix in San Francisco. He will
19 talk to you about the details of the node with regard to the
20 seismic activity.

21 The attempt tomorrow will be to give you a better
22 picture of the detail to which we went in each of these nodes
23 by giving you the illustration of those two particular
24 technical areas.

25 DR. NORTH: Off your last example, what was the

1 form of the communication? Was it simply those probability
2 numbers or did you develop a base of information supporting
3 those judgments?

4 MR. SHAW: We have a base of information which we
5 feel and hope is supportive of those judgments. That will be
6 presented in the report. We have a report from the Electric
7 Power Research Institute which we expect to be available by
8 the end of this month. It has currently been approved for
9 publication.

10 The format of the report very much parallels the
11 previous diagram I put up there. In that, almost section by
12 section, is a technology. For example, when you consider
13 climate one of the early sections in the report is on
14 climatology. It lays the ground work for saying what the
15 history has been of climate; what does it look like at the
16 Yucca Mountain area; what is the evidence that, in the past,
17 there was heavy rainfall compared to where we are now; and
18 what is a reasonable judgment, and how did we come to that
19 judgment with regard to these kinds of numbers.

20 DR. NORTH: There are two dimensions to that I hope
21 we can explore subsequently. One is the methodology for
22 assessing the expert judgment, such as did you assess a
23 continuous distribution and then represent it with these
24 three scenarios?

25 The other dimension is: To what extent did you use

1 some, I will call it, formal methods for assembling the
2 information on climate change or were you simply getting an
3 assessment of one expert's judgment? For example, did you
4 integrate in any formal way runs on general circulation
5 models or something of that sort?

6 MR. SHAW: I can respond to that right now.

7 DR. NORTH: Okay.

8 MR. SHAW: We did not attempt to gain a wide range
9 of expert judgment as we participated in this process because
10 our emphasis here was in developing a methodology. We did
11 not want to take so much time in saying, "Hey, these are the
12 best numbers that we can come with right now."

13 We wanted to say, "If these are reasonable numbers
14 how does it all fit together? How does it integrate? Can
15 you get results? Is it a reasonable process?" And so on.

16 So our strong emphasis was on the methodology, not
17 on the details of the input as long as we felt they were
18 reasonable. To take this example in climatology, Austin
19 Long, our expert from Arizona, went to the literature and
20 would make phone calls and do things like that; but there was
21 not the attempt to do what I think you are hinting at:
22 getting a room full of people or a set of people around a
23 table who are experts in this area, have them come up with
24 some continuous distribution, and then refine that into some
25 discretized numbers.

1 We did not attempt to do that.

2 DR. NORTH: The dimension I want to have you
3 describe to us is how deeply did your expert go. One extreme
4 is you get an expert, sit him down for an hour or so and
5 assess a distribution as represented by these three numbers
6 or as a continuous cumulative distribution for which these
7 three numbers are an approximation.

8 Essentially you got probability numbers from him,
9 but not much of a sense of where did those numbers come from.

10 Another extreme might be: This individual writes a
11 book for you on all that is known at present about climate
12 change and describes various competing models, summarizes the
13 analysis that has been published in the literature, compiles
14 all the data that is available, and comes up with a
15 probablistic model out of which you develop a probability
16 distribution which then becomes the basis for these three
17 numbers.

18 MR. SHAW: Of course, my answer was it was
19 somewhere in between the two; but it was closer to the former
20 rather than the latter. In this sense, climate is not a good
21 example because we really had one expert on climate and most
22 of the rest of the people did not know too much about
23 climate.

24 DR. NORTH: Right.

25 MR. SHAW: But in most of the other areas that is

1 not true. There was a lot of overlap in the understanding of
2 technology; but in the area of climate or any of the other
3 areas, as we went through our meetings the procedure would be
4 that the expert would get up and give a presentation, and say
5 "This is where I see things are. This is how it applies to
6 Yucca Mountain"; and it would be, in a sense, a seminar given
7 to us, and we would challenge and ask questions.

8 That happened three different times with the series
9 of work shops we held. Each time the person would come back
10 with a refinement.

11 When you talk about geochemistry or geology and the
12 fractures and things of that nature, there were enough
13 experts there--usually two or three--who understood those
14 areas that there were some significant technical challenges
15 given to those people.

16 In addition, the presence of Russ Dyer meant there
17 were situations where we knew the Department of Energy had
18 worked on this particular area, and we would have our expert
19 make telephone calls and maybe even have meetings with the
20 appropriate experts there to see what we could garner from
21 their results as well.

22 It is certainly not a book defense, but it is a
23 chapter defense which is presented in, hopefully, a
24 formalized technical fashion that convinces people these are
25 reasonable first-cut numbers.

1 I would now like to proceed to some slides which
2 will show some of the results as we have presented these.
3 This goes back, in essence, to the presentations I showed
4 before: the radioisotopes as a function of time.

5 I will remind you that this process does result in
6 1,000 scenarios as a function of time. One the first slide
7 we will put up you will see a whole bunch of traces going
8 across the screen.

9 We are going to show here that each of the
10 scenarios give you a different trace for the function of the
11 output of the radioisotopes as a function of time.

12 This example happens to be for neptunium-237. Here
13 we have calculated the curies that are released as a function
14 of time. This goes out to 100,000 years. We are not modest.

15 We did calculations for approximately six different
16 radioisotopes. We did not try to cover the whole spectrum.
17 We tried to find those that were particular examples of
18 different chemical processes so they would be typical of
19 particular transports.

20 What you see here is that any one particular curve-
21 -and sometimes I realize it is difficult for the eye to pick
22 out any one particular curve--is one of those N branches and
23 is a calculation of radioisotope release of neptunium-237 as
24 a function of time.

25 You will see two different colors. Actually there

1 are three different colors. It is difficult to pick up the
2 third one because it is down here somewhere.

3 The fact is that the different colors have to do
4 with the different values of infiltration. In particular the
5 red value is our infiltration value of .5 that you saw on
6 that previous diagram I showed you; 1.6 is the blue; and 4
7 millimeters per year is the dashed green.

8 So the red one, which is down here off scale,
9 actually gave zero releases. At .5 millimeters per year, we
10 found essentially no instances where there was any release of
11 radioisotopes over 100,000 years. So it is only where you
12 have increases of infiltration that you begin to get changes.

13 As you look at this what is important is the colors
14 give you a sense of whether or not there is a strong
15 dependency of this particular function. You can see there is
16 a strong dependency here.

17 As you change from an infiltration rate of 1.5 to
18 an infiltration rate of 4 you do get a significant increase
19 in the release of radioisotopes. That is one of the features
20 we wanted to look at: What are the particular parameters
21 that are sensitive, to which the results are sensitive?

22 One comment we could make here is that high
23 infiltration is a necessary but not sufficient condition to
24 get very high isotope releases, at least in this case: for
25 neptunium.

1 This is the same curve only we have now reduced the
2 time scale so it is only 10,000 years. This, of course, is
3 the Environmental Protection Agency standard over 10,000
4 years; and we have put in here the standard for neptunium-
5 237, which is 100 curies.

6 In addition, you will see two of these squared-off
7 release diagrams. These are simply to show that there is
8 presumably a release due to volcanism in two different legs
9 of our channel, two different scenarios, that we did not
10 calculate. We simply threw in times arbitrary and values
11 arbitrary, but we did no calculations with respect to
12 volcanism release of radioisotopes.

13 In addition, we did no calculations of gaseous
14 transport so the carbon-14 release is not a part of our
15 process; and those are, in our minds, not significant
16 restrictions because the framework we have developed would
17 easily allow those particular processes to be adopted.

18 We chose not to have expertise in the gaseous
19 transport area as a part of our team and, therefore, it was
20 not there; and the volcanic calculation is more complicated
21 and we decided not to proceed any further with that.

22 This is again, for the differences in infiltration,
23 the results we get.

24 The next process, of course, is to develop a
25 histogram so you can see some of the probabilities of these

1 particular curves. There are little blips here that you can
2 hardly see. It only become significant here. Of course,
3 most of the probabilities are way down here on the extreme.

4 This is a 10^{-2} curies and this, of course, gets
5 very low. So it is very low activity down here where you see
6 most of these probabilities; but that is not very meaningful
7 because it is all stretched over here on the left side of the
8 curve.

9 So then one can go to the complementary
10 distribution function, which we plotted here, which is all
11 down here on the left corner. That is not very meaningful
12 either. The reason it is not is because it is on a linear
13 scale; but on the linear scale it allows you to go all the
14 way to zero, which capability you don't have on the next
15 curve, which is the semi-log and very typical curve that we
16 see presented for the release of these radioisotopes as a
17 function of various scenarios.

18 Therefore, in a sense, this does directly show you
19 the probability of these various scenarios as a function. In
20 this case, we have put it normalized releases. So we divided
21 all those releases by 100 curies in order to normalize it so
22 the value out here, 1, represents 100 curies for neptunium-
23 235; and we have drawn here the Environmental Protection
24 Agency standard along the upper right hand corner.

25 We make no claims to saying that neptunium-235 does

1 not exceed the standard. We are simply showing how this
2 framework can be used to develop this particular process.

3 In this case, I am showing the sensitivity or
4 functional dependence of these releases on the infiltration.

5 This is the average curve you saw a moment ago.

6 In this case, the red one is the base case; the
7 blue one is for the lower flux, only; and the green one is
8 for the higher flux only. This shows you another case where
9 doing this in terms of a logic diagram is very useful and
10 meaningful.

11 One can set the probabilities to zero for two of
12 the three infiltration cases. Then you get a calculation
13 directly that shows what is the result of that particular
14 scenario: the one in which you, in this case, have a flux
15 that is .5 and, in this case, have a flux that is 4
16 millimeters per year.

17 So it does show what we already saw with the
18 colored diagram: that there is a sensitivity, a fairly
19 significant sensitivity in this case, to flux infiltration.

20 This is another example--I think this is the second
21 case--where we look at the effect of flow paths, the effects
22 of fractures in the rock as the result of earthquakes. For
23 the three scenarios we developed you can see it is not very
24 sensitive.

25 This shows you that in some cases you have relative

1 insensitivity and, in others, very significant sensitivity to
2 these kinds of results. In this case, the different fracture
3 calculations were for higher fractures and lower fractures in
4 the base case.

5 We can also, of course, do these various
6 calculations for different radioisotopes. This shows
7 neptunium-237, the base case, in green; technesium-99
8 calculated in red; and cesium-135 calculated in blue. By
9 normalizing those together--this shows them without the label
10 put on there--you then have the capability of summing those.

11 In this case, we have a dotted green, which is the
12 full, with the other curves shown as they were before; and
13 this shows it without the diagram.

14 This also brings your eye, I think, into better
15 synchronization here because we normally think, "Well, you
16 add these up and they must make significant contributions";
17 but remembering this is on a logarithmic diagram that unless
18 these curves are very close to each other they obviously make
19 very little contribution to the total.

20 So the total here is almost completely dominated by
21 the neptunium because it is presented on a logarithmic
22 diagram.

23 That shows how we present the result of the
24 performance assessment. I now have a particular illustration
25 in which I want to show how you can use these results to

1 determine priorities.

2 We have put together here a little situation where
3 we say a researcher comes forward from some national
4 laboratory and says, "I have an exciting research program
5 that I want to carry out and I am going to work on flux. As
6 a result of that flux I am going to take this base case
7 probability that you have, and I predict that the result of
8 my research will be that we will be able to eliminate one of
9 those N points. I am not sure which one, but I think it is
10 roughly a 50/50 chance that we may end up with only two cases
11 in which the flux is lower than we suggested before or the
12 other two cases: that the flux is higher than it was before."

13 So we are saying, at the beginning of this
14 research, here is what we expect the end result to be. It is
15 either going to be this distribution or this distribution,
16 and there is equal likelihood between the two.

17 Meanwhile somebody else comes along and says,
18 "Okay, I have some research I want to do with regard to the
19 fractures, in the area of the fractures; and the base case
20 probability is that there is 50/50 between low and high. And
21 I believe that, at the end of this work," which roughly costs
22 the same amount of money as the original one, "I am going to
23 have either 80/20 in either one direction or the other."

24 Now, going back to the slides, we can show what the
25 results are of those calculations. We put those in our model

1 and, let me tell you, that as you went through that result
2 what came clear is: there was a significant result or
3 sensitivity for the flux values; and a rather insignificant
4 change when you made the calculation for the fracture areas.

5 The whole determination is that using a framework
6 of this nature, one can come to significant conclusions as to
7 where the value is of particular research. As you fine tune
8 on the parameter measurements you make, one can make
9 determinations as to what value that has on the total
10 performance assessment.

11 I like to put this warning in front. Keeping in
12 mind that these calculations are strictly illustrative; and,
13 therefore, we don't attach a lot of significance to the
14 numerical results; we have still concluded, based on the
15 calculations we have made, that the following topics are
16 found to be more influential on site performance than the
17 other topics.

18 There are no surprises here: hydrology, the
19 question of infiltration; the water flow pathways, the extent
20 to which they are influenced by rock fracture and porosity;
21 and any significant rise in the water table. Each of those
22 functions can give us significant changes, and in fact
23 increases, in the release of radioisotopes.

24 The second major area was geochemistry, particular
25 the uranium solubility as influenced by dissolution chemistry

1 and temperature, and the chemical retardation of released
2 radioisotopes.

3 These are what we referred to as our necessary, but
4 not necessarily sufficient, conditions to get high releases
5 from the site.

6 We have some conclusions. Our conclusions, in a
7 rather general way, speak to the framework.

8 They are: that the use of a multi-disciplinary
9 scientific and engineering expertise to conduct a risk-based
10 evaluation of a high-level waste repository is achievable
11 with current knowledge and technology; that the structured
12 approach is required; and that the work shop format is very
13 well suited to this particular approach? The use of logic
14 trees is a convenient and credible format, although there are
15 certainly many others which one could use to describe the
16 analysis for performance assessment.

17 The results of the methodology should be obtained
18 during the process of model development: that is, the process
19 should be iterative--one needs to put the model together, run
20 it, say "Does it make sense or does it not?", then rerun it
21 and revise it; and so on.

22 A methodology of this type can be applied on a
23 larger scale in which a larger body of expertise
24 participates. The application will lead to realistic rather
25 than simple demonstrative results.

1 Let me expand on that a bit. As one goes back to
2 the tree diagrams we put together--and I think I will put two
3 of them up here simultaneously--and you look at what is
4 included in these diagrams, people usually think strictly in
5 terms of a single model.

6 Let's take the example of rock fracture. We think
7 of a single model that describes the hydrology in the
8 pathways; but we also know there is a multiplicity of models
9 that are out there: that there is more than one model that
10 describes the hydrology in particular.

11 A framework of this nature allows one to use a
12 multiplicity of models. For example, each one of these
13 particular pathways at Node 9 could be a different model.
14 One could have a one-dimensional model; one could have a two-
15 dimensional model; one could have a model that says there are
16 direct pathways as well as the very tortuous pathways; and
17 one could get a group of experts together and say "What is
18 the likelihood that the first model best describes Yucca
19 Mountain? What is the likelihood the second model best
20 describes . . .", et cetera.

21 You could put probabilities on these trees and have
22 them attached to the model so you not only get different
23 scenarios, you actually use different models in order to
24 carry out your calculations. Then as time proceeds, of
25 course, one gets either refined models or better confidence

1 in a particular model that it really describes the particular
2 circumstances.

3 In that sense, we feel that by expanding and going
4 further with this particular process one can get a better
5 description and an iterative description as one goes along.

6 As we move ahead, our near-term plans are: to
7 prepare the working version of the methodology development
8 team; perform its assessments and its reports, and I put
9 dates on there of September 1990. We have completed both of
10 those.

11 The report is not published yet, but it is in
12 publication and will be out by the end of this month.

13 Our view is that the appropriate phase two is to
14 join with the Department of Energy in sponsorship of work
15 shops on performance assessment methodologies to identify
16 crucial technical topics for work shops. I will come back
17 and give you a little more detail on what I have in mind
18 here.

19 Phase three would be for us to support--not
20 financially, but technologically--the Department of Energy in
21 conducting expert work shops on the crucial technical topics
22 that were identified in phase two.

23 In a little more detail, what we would presently
24 say is the way to go about phase two is to have a series of
25 work shops, somewhat akin to what we did in developing the

1 methodology, where we get together the participants who have
2 been involved in performance assessment development.

3 As far as we know, there are only four bodies right
4 now who have done performance assessment methodologies. I
5 don't mean to exclude the State of Nevada. I believe they
6 have developed scenarios, but do not have a methodology. We
7 would certainly want to include the State in our
8 deliberations.

9 But, as far as I know, these are the only four
10 groups which have developed performance assessment
11 methodologies: that is the Department of Energy, Yucca
12 Mountain Project Office contractors; the Department of Energy
13 headquarters contractor, which is Boulder Associates; the
14 Nuclear Regulatory Commission; and, of course, our own that I
15 have just described to you here.

16 I would see as the objective of this particular set
17 of work shops: to exchange detailed explanations of each
18 performance assessment methodology: to revise these
19 methodologies where appropriate: and to obtain some consensus
20 on the highest-priority technical areas; and I would see a
21 schedule of a series of three work shops starting in late
22 1990 with completion in late 1991.

23 To focus a little in on what I would see us doing
24 for three work shops, I would see the first work shop being
25 one where we get these parties together and, in maybe a half

1 a day each, presentations are given for: What is your
2 methodology? How does it work? What is the basis for it?
3 What are your calculations? What are your results and so on?
4 Really an interchange, an exchange of methodologies.

5 The focus is not to say which one is the best,
6 which one should we select; but rather that each party would
7 have a clear understanding of what the other one has done.

8 As a result of that any of the four of us may
9 choose to go back and say, "Whoops, I forgot that," or some
10 other element that would make our methodology better so there
11 could be some revisions; then come back at a second work shop
12 and talk about revisions, maybe come back and defend some
13 things that were questioned at the first work shop and so on;
14 and then proceed to have each group say, "If you were to
15 select a particular technical area to convene a set of
16 experts to discuss that particular technical area, what would
17 that technical area be? What is the highest priority, the
18 most crucial technical area?"

19 I laid out some of our considerations, particularly
20 with regard to hydrology and geochemistry. Then to drive
21 towards the consensus--and I would presume you would do it in
22 a preliminary fashion at the second work shop--at a third
23 work shop as to what are the technical areas that most plead
24 for technical consensus; and do more than that: define the
25 particular crucial questions. What are the models that might

1 be there? Who are the kinds of experts we would like to
2 bring together? What might be the best format for those?

3 This would be to drive sort some particular details
4 as to how you would conduct and who would be the participants
5 in these particular work shops as you would proceed.

6 Then I would see that moving to phase three, which
7 is the conduct of those particular detailed work shops on the
8 various technical areas. I would choose to have that
9 sponsored by the Department of Energy. We would use it to
10 update and revise our performance assessment methodology.

11 I could perceive that one to three work shops--that
12 is, technical areas--might be handled in a year, although I
13 think at the beginning it is pretty difficult to get through
14 much more than one.

15 Any of you who have participated in any of these
16 things know they can be pretty detailed and fairly extensive
17 kinds of work shops in order to drive a group of independent
18 thinkers toward some consensus about their particular area,
19 particularly when you are going out 10,000 to 100,000 years.

20 We would see one of our roles as being significant
21 independent technical expert input to the Department of
22 Energy.

23 My last slide is one I have used with my utilities
24 to indicate the various roles we see for the principals that
25 have been involved in this arrangement thus far. You should

1 read across relative to each other, not up and down.

2 We have seen ourselves as a major player in each of
3 the two phases, and a more minor player in phase three. U
4 Waste has worked with us. This is the EEI group. I would
5 say the Department of Energy has certainly been supportive in
6 this area. We see them as playing a minor but participating
7 role here and taking over the major role in phase three.

8 This speaks a lot to the utility atmosphere which I
9 think prevails right now, which I think is a significant part
10 of this whole discussion as well.

11 Right from the start as I have moved into this work
12 the utilities have questioned us as to why we are doing this.

13 My response to that is, generally, we are doing it because
14 we think we have valuable tool here that could be useful to
15 the Department of Energy.

16 We are also doing it in a sense to prime the pump:
17 to enable them to move ahead on what we see as an important
18 integrative message. We also think we have some technical
19 expertise here that could be useful to the Department of
20 Energy.

21 Of course, the utilities' question generally is:
22 Why does the Electric Power Research Institute have to be
23 doing this? We are already paying the Department of Energy
24 to do it.

25 That question continues to prevail. They basically

1 have said to me, "Okay, you have generated your tool. You
2 have done your job. Now get out of the business. Turn it
3 back over to the Department of Energy."

4 That is the prevailing general mood within the
5 utilities. Although they have been supportive of the work we
6 have conducted so far, they are reluctant to continue on as
7 strong a basis in the future.

8 That describes what we have done so far. As I
9 mentioned to you before, we will have more detail for the
10 subcommittee tomorrow afternoon.

11 CHAIRMAN DEERE: Fine. Thank you very much.

12 MR. SHAW: You are welcome.

13 CHAIRMAN DEERE: We will now open the session to
14 questions from the Board.

15 Questions and Discussion

16 DR. NORTH: I would like to commend you for taking
17 this effort on to prime the pump, and a very good
18 demonstration that is quite responsive to the two
19 recommendations we had in our first report to Congress with
20 respect to development of methodology for performance
21 assessment and getting on with the process of using that.

22 One of my concerns as this goes forward--and I am
23 going back to your slide with regard to near-term plans--is I
24 think we need to distinguish methodology in two areas. One
25 is the chapter or the book in the analogy I was drawing: the

1 substantive expertise that is getting summarized into one
2 stage of your logic tree. The other area of methodology is
3 the process of going from the chapter to a simple
4 representation with, for example, three probability numbers
5 attached to three scenarios so you really have it down to two
6 probabilities plus descriptions of the three scenarios.

7 I think it is very important that as the
8 methodology is refined we have an appropriate balance.

9 I sit here as essentially somebody who has had
10 experience in how one does this kind of analysis and it is
11 easy for me to see a lot of fine points in terms of the use
12 of influence diagrams or Monte Carlo analysis as an
13 alternative.

14 For those who have not been acquainted with this
15 kind of analysis it may be very easy to seize on those
16 details. I think it would be a terrific mistake if too much
17 emphasis were to go into those details. I think those of us
18 who have practiced in the area of decision analysis could
19 rapidly convince ourselves and each other that those details
20 are not very important: there are lot of ways to make these
21 calculations, lots of ways to do the summary once you have
22 this kind of information into this quantitative form.

23 The problem is going to be to get the chapter level
24 right so we have what appears to be either consensus or
25 defined areas of disagreement in the material that is being

1 summarized into the various stages of this.

2 I think it will be extraordinarily important and
3 useful to have the work shops you describe as a way of
4 getting a sense of where our various groups--who have studied
5 this problem in this framework, looking stage by stage at
6 this kind of a logic tree and determining either that there
7 is fairly broad agreement as to what the uncertainty looks
8 like or there is disagreement, and having a numerical
9 representation such as you demonstrated on the infiltration
10 issue may be very useful to get us off the basis of saying,
11 "Well, gee, future climate change is uncertain--get to an
12 assessment about how much disagreement is there about that
13 uncertainty.

14 MR. SHAW: A few comments in response to that.

15 We, of course, focused at this stage on doing a
16 simple integrated methodology so we could present a framework
17 within which such calculations could be made for the two
18 purposes I mentioned: performance assessment, and identifying
19 and prioritizing crucial issues. We feel we have done that.

20 The next step is clearly the kind of thing that you
21 have described. I might even ask Clarence Allen to
22 participate a bit in this discussion.

23 We are going to reflect back on what we did in the
24 seismicity owners' group where we successfully brought
25 together technical experts, described these sorts of things,

1 and I think did the sorts of things you are talking about:
2 talked about extremes.

3 Clarence, would you like to make a point or two on
4 that process?

5 DR. ALLEN: Yes. I participated in that and found
6 it exceedingly valuable. That is why I was a bit surprised
7 that with only one climatologist, and that being such an
8 important issue, that at least at this stage of the game you
9 were certainly depending on one man's advice whereas in the
10 case of eastern seismicity we must have had at least 50
11 seismologists in that room, most of whom disagreed with one
12 another.

13 [Laughter]

14 DR. ALLEN: However, some interesting results came
15 out of it. No question.

16 MR. SHAW: Let me respond to that particular point.
17 We felt that before you get to the stage of
18 collecting 50 climatologists together in a room and having
19 them come to some agreement or disagreement on what was going
20 to be the future, they had to understand the framework within
21 which they were supposed to carry out this assignment.

22 Our attempt was first to say, "Let's understand the
23 integration" because until you get to that point you cannot
24 understand how the output is going to be used. I think it is
25 important to understand how the output is used from

1 climatology or any of the other aspects before you bring
2 these people together because then you begin to clearly state
3 the objectives.

4 That was our purpose: get one expert in each of
5 these areas, make it be illustrated so you pull together the
6 framework, they understand the integration and interaction
7 between these various technologies, then you are ready to get
8 the larger group of experts together in each particular area
9 so you can refine and better define the kinds of things
10 Warner is talking about.

11 As it was done in the seismicity owners' group, I
12 would view this as being a process in which people were
13 forced to defend the particular positions they took, that you
14 understand the range of positions that people take, that you
15 assign probabilities to these ranges: you come up with either
16 continuous or discrete distribution, and that in an almost
17 book-like fashion you end up with a description of the
18 process, of the technologies, of the references, of the
19 particular positions people took, of the conclusions people
20 came to as best you can, make it as transparent as possible
21 as to how that whole process took place.

22 Inevitably we are going to have new data, new
23 positions and so on that are going to refine on that
24 particular process.

25 DR. ALLEN: Perhaps my attitude toward it could

1 best be expressed by the fact that when I was serving as a
2 consultant to the Electric Power Research Institute in their
3 technical advisory group on this at the end of two or three
4 years I should have been paying tuition.

5 MR. SHAW: I think I have indicated to you, we will
6 be happy to send you a bill for that.

7 DR. PRICE: You omitted volcanism for the purposes
8 of phase one. Are there any plans it will be included?

9 Yes, it is on the overall master, but you said you
10 ran into complexities. Can you describe any of that as it
11 might impact the future direction of what you are doing?

12 MR. SHAW: Our expert, Mike Sheridan,--who had been
13 in Arizona and, more recently, is now at State University of
14 New York at Buffalo--looked at the whole question of volcanic
15 activity in the area of Yucca Mountain.

16 As a result of that and discussions with some of
17 the experts both for the State of Nevada and for the
18 Department of Energy he has evolved the model that allows him
19 to predict the likelihood of volcanos occurring, and the
20 likelihood of the dikes from the volcanos intersecting with
21 the boundary of Yucca Mountain.

22 We did not get to the point of saying, "Now, if
23 this occurs, can we describe"--and I presume this would be in
24 a more deterministic fashion--"the interaction of the magma
25 with waste containers; and, from that, talk about the release

1 of radioisotopes?"

2 We felt that was, in detail, beyond what we were
3 willing to put together in this particular kind of a
4 methodology. So we reached the point of having a model,
5 which Mike is very excited about and is going to be
6 publishing, that talks about the predictions, the
7 probabilities that volcanos occur, that the dikes will
8 intersect and so on, which then could be used to further make
9 calculations with regard to the release of radioisotopes and
10 their subsequent transport.

11 We feel that could easily be incorporated, but we
12 did not carry it any further than that. Time and resources
13 were both limitations.

14 DR. NORTH: Did you have a representative volcanic
15 release as part of your set of thousand-plus scenarios? As I
16 recall, you had some--

17 MR. SHAW: There were two straight lines on there,
18 and they were symbolically represented. None of the others
19 had any volcanic release associated with them. All the
20 scenarios for volcanic release were just in those two
21 rectangular boxes there.

22 CHAIRMAN DEERE: What did they do with the bore
23 hole stability? Did they take that anyplace?

24 MR. SHAW: We did a fairly simple process on that.
25 We looked at the whole question of stress on the rocks and

1 rock fracture, and we looked at the likelihood that there
2 would be the release of rock segments from the bore hole so
3 they would intersect with the waste package.

4 We considered, in a very conservation fashion, that
5 if they intersected with the waste package, if they came out
6 of the bore hole cutting itself and came in contact with the
7 waste package, that was a failure: that was a pathway for
8 water and corrosive events to occur that would not otherwise
9 occur because of the gap between the waste package and the
10 bore hole.

11 But we wanted to include the whole concept of the
12 stability of the bore hole as an important one with regard to
13 waste package failure. So we did that.

14 Then, I would have to say, it is important to note
15 that when we got to the question of waste canister and its
16 lifetime, and we looked at the variety of processes that lead
17 to waste canister failure, we said, "This is ridiculous. To
18 try to do this in a deterministic fashion is far too
19 complicated."

20 So we ended up with three set of Weibull diagrams
21 as being appropriate to describe waste canister lifetime for
22 a moderate package, for a cheap package and for a very
23 expensive package. We have Weibull diagrams as being typical
24 with regard to industry experience for the lifetime of such
25 kinds of equipment; and we simply used those as our

1 descriptor of the waste canister failure.

2 DR. LANGMUIR: Would you take us through how that
3 impacted the tree process? Did it matter, in terms of the
4 ultimate release, which package you chose?

5 MR. SHAW: Yes. Very significantly, if you had our
6 super-package--the more expensive package--it had a very
7 significant effect on the release of radioisotopes. You saw
8 the three diagrams for infiltration where there was
9 significant increase between the three. You saw an even more
10 difference in the waste package case.

11 So, yes, our conclusion was that it was very
12 significant.

13 I was going to say that the waste package Weibull
14 diagrams were arbitrary. That gives it less credit than it
15 deserves.

16 They were done in conjunction with Lawrence
17 Livermore and some of the work those people have done in
18 order to get what we felt were reasonable values for the
19 mean, minimum and maximum lifetimes associates with each of
20 those Weibull diagrams. Therefore, there is some feeling of
21 credence with regard to that.

22 However, we did not take particular materials and
23 say, "How long do we think these materials are going to
24 last?" In other words, we did not do any preliminary waste
25 package design and then, from that, try to get the parameters

1 you would use in a Weibull diagram.

2 DR. LANGMUIR: It was interestingly lacking from
3 your final little table of critical issues or critical
4 disciplines, waste package design and corrosion. These are
5 not issues that were retained in your final conclusion as
6 issues that needed to be further pursued.

7 MR. SHAW: I agree with you.

8 DR. LANGMUIR: You went to hydrology and
9 geochemistry as the issues.

10 MR. SHAW: That is right. I would say that was an
11 oversight on my part. That would be another significant
12 issue.

13 The issue of uranium solubility is, in a sense,
14 tied to that; but the issues of waste package lifetime and
15 uranium solubility are really, in a sense, tied together. It
16 is the release that comes from those two processes that is
17 certainly an important aspect: one of the real technical
18 issues.

19 So under technical issues you would have a third
20 category, really.

21 MR. SHAW: I agree with you. Either that or I
22 would tie it together with uranium solubility and say release
23 in one case and the other one is transport, which would be
24 the retardation.

25 CHAIRMAN DEERE: I saw that a number of your curves

1 seemed to start at 1,000 years. Could you show some of those
2 that might show the difference in the lifetime length of the
3 canister? Or was I mis-reading something there?

4 MR. SHAW: Do you mean the complementary
5 distribution curves?

6 CHAIRMAN DEERE: Yes.

7 MR. SHAW: You are saying they come down to zero at
8 1,000 years?

9 CHAIRMAN DEERE: Yes. Some seem to start at 1,000
10 years and then work up. I wondered, were those where you
11 assumed the package was becoming soluble by the year 1,000,
12 500 or whatever?

13 MR. SHAW: The complementary distribution functions
14 don't show time. It is curie release along this axis and
15 probability along this axis.

16 CHAIRMAN DEERE: It may have been another diagram.

17 MR. SHAW: All of those curves are at 10,000 years.
18 All of the complementary cumulative distribution functions
19 have to be taken at a particular time in order to plot those;
20 and we selected the 10,000-year Environmental Protection
21 Agency limit for the curves.

22 CHAIRMAN DEERE: I think I was talking about your
23 earlier curves that had 1,000 things plotted on them in three
24 colors.

25 MR. SHAW: You are saying that we essentially saw

1 zero release or that zero was 10^{-3} or something like that: you
2 saw very little release up to 1,000 years. That is correct.

3 That is because we have spaced our calculation in
4 1,000-year intervals. So that is an artifact of the
5 calculational process.

6 CHAIRMAN DEERE: When did the so-called super
7 package start releasing?

8 MR. SHAW: I think it was 5,000 years. I think we
9 assumed there was no release from that package for 5,000
10 years.

11 Please don't quote me on that.

12 CHAIRMAN DEERE: Could you show a couple of those
13 early diagrams.

14 MR. SHAW: I don't have those in the projector.

15 CHAIRMAN DEERE: The ones you start with.

16 MR. SHAW: You mean the ones we had up?

17 MR. SHAW: Sure.

18 You want the radioisotope concentration as a
19 function of time? Is that the one to which you are
20 referring?

21 CHAIRMAN DEERE: Yes, way at the beginning.

22 [Pause]

23 CHAIRMAN DEERE: Is see the blue starts at 3,000
24 years. Am I right?

25 MR. SHAW: Start is 10^{-3} . Start is relative.

1 There is no zero in this curve so one has to reflect on that.

2 The other point I would make is you can see the
3 straight line segments of each of these. That just simply
4 means we made a calculation here and here, and here and here.

5 They are obviously continuous curves, but we only make
6 calculations in those intervals of time: every 1,000 years.

7 So there is no zero. It keeps on coming down here.

8 CHAIRMAN DEERE: Right, but I see some of them
9 start at 1. So you must have forced it there, at 1,000.

10 MR. SHAW: That is right. Over the first 1,000
11 years we just made a cumulative calculation and we said,
12 "Okay, what is the value of the 1,000?"; and we plotted that
13 point. Then we said, "Okay, what is the value of 2,000?"; and
14 we plotted that point.

15 So don't take a lot of significance in what is down
16 here. It is simply the cumulative amounts that are being
17 calculated.

18 CHAIRMAN DEERE: So if I see a straight line that
19 comes down to 1,000, then I look over here and I see another
20 one that comes down to 4,000, something seems to be starting
21 at--

22 MR. SHAW: That is right. That does indicate there
23 are delays in some of these processes: that some of the
24 scenarios have early releases and some of them have much
25 later releases.

1 In particular you can see here, certainly, the blue
2 versus the green: that as you get less infiltration, you get
3 delays in the releases; as you have infiltration you tend to
4 have earlier releases in the scenarios.

5 As I mentioned before, the .5 millimeters is down
6 here somewhere.

7 DR. MACEDO: Why is it such a strong function of
8 infiltration?

9 MR. SHAW: Because of the corrosion process on the
10 waste package; because of the transport process for the
11 hydrology itself. Those are the two key areas in which
12 increased infiltration produces more rapid transport.

13 CHAIRMAN DEERE: Any other questions from the
14 audience? Max Blanchard?

15 DR. BLANCHARD: If the centralization issue
16 referred to this concept where you tried for some previous
17 utility licensing processes, under those conditions did staff
18 from the Nuclear Regulatory Commission participate in any of
19 those?

20 MR. SHAW: Let me repeat the question: I made
21 reference to work we had done previously on the seismicity
22 group; and was there Nuclear Regulatory Commission
23 participation in that particular activity?

24 The answer is yes. We felt right from the start it
25 was not only important, it was vital that key Nuclear

1 Regulatory Commission people would participate in this
2 program so the results would be acceptable and appropriate.
3 We wanted to get their input right from the start.

4 So they did participate throughout the whole
5 process of developing the analysis for the seismicity on the
6 east coast.

7 DR. ALLEN: Leon Reiter was a very active
8 participant in those.

9 CHAIRMAN DEERE: He is right here.

10 DR. REITER: I want to differentiate between the
11 participation and input, and observers. The Nuclear
12 Regulatory Commission was there as observers. The Nuclear
13 Regulatory Commission did not approve or disapprove of the
14 input.

15 In fact, there was a very strong position taken by
16 the Nuclear Regulatory Commission that that was not the
17 purpose. The idea was to see whether or not the methodology
18 was consistent and was a workable methodology.

19 That is what we commented on. That is a big
20 difference from approving or disapproving the input.

21 MR. SHAW: Thank you.

22 DR. ALLEN: You may have been there as an observer,
23 but you were a very active participant.

24 [Laughter]

25 MR. SHAW: Thank you both for the clarification.

1 DR. BLANCHARD: My second point is: In your phase
2 two of your proposed future activities you have identified a
3 number of groups or organizations that you think should be
4 represented to make this an effective process.

5 Would you expect to begin discussing with those
6 organizations the availability of people and the opportunity
7 to make commitments to really support phase two?

8 MR. SHAW: The question is with regard to phase two
9 and our projected interaction among the various performance
10 acceptance methodology groups, when do I expect to proceed to
11 make contact and get commitments from those various
12 organizations?

13 I have contacted all those organizations with
14 regard to dates in the first week in December. All of those
15 have indicated a willingness to participate in that.

16 I now need to get a firm confirmation; but I have
17 at least a preliminary confirmation that, yes, we are
18 interested and, yes, we will participate.

19 DR. DOBSON: You noted that your solubility
20 appeared to be a significant parameter. I just wanted to
21 know whether or not that was primarily because of the
22 activity of uranium or because of the inter-relationship on
23 the solution of other uranium nuclides and uranium: in other
24 words, whether or not the solution is an adequate
25 representation of solubility.

1 Did it relate to the release of other aconites and
2 soluble species, or did it relate primarily to the actual
3 activity range?

4 MR. SHAW: To quickly paraphrase the question, it
5 is: Why is the uranium solubility significant? That is a
6 more relevant question for me to answer.

7 It is significant because we felt it is not well
8 known, and we chose two values. One was 2×10^{-4} and the
9 other is 2×10^{-6} . That is a very significance, of course, in
10 uranium solubility and will influence very markedly the
11 results of a release of uranium; and because we assumed
12 congruent release of the radioisotopes with regard to the
13 uranium solubility.

14 We felt that a number of things were sufficiently
15 unknown that we could not predict the solubility any better
16 than that.

17 For example, the transportation of UO_2 to U_3O_8 ; the
18 question of: What is the temperature at the time of the
19 solubility?; the question of: What is the chemical pH, the
20 oxide redox conditions and so on are very loosely known, and
21 particularly when you start to talk about the solubility of
22 these constituents of uranium. That is not even very well
23 known, especially as you go to the higher temperatures.

24 On that basis we said, "We really don't know the
25 uranium solubility very well and, therefore, we are going to

1 choose two values that are two orders to magnitude." When we
2 did so, we found it had a very significant effect on the
3 total results.

4 In that range, at least, it was a significant
5 parameter.

6 DR. REITER: I wonder if you could put on the
7 transparency that shows the flux rate?

8 MR. SHAW: Sure.

9 DR. REITER: I want to make the point here that
10 reasonable people coming together on an issue may not agree.

11 There are very critical parameters you pointed out,
12 and you pointed out some other studies that were being
13 conducted.

14 For instance, in this same parameter the Nuclear
15 Regulatory Commission in their evaluation assumed flux rates
16 of 2 to 8 millimeters a year. The Yucca Mountain Project
17 Office, in their evaluation, thinks that the value will be
18 something like 1 millimeter per year: an order of magnitude
19 less than you indicated. In another study that was carried
20 out by PNL they point this out as being a very critical
21 parameter.

22 Something we have observed in the Seismic Hazard
23 Group is that different people coming together can get large
24 differences in their conclusions. One of the very first PRAs
25 you did was for Indian Point. Two separate consultant teams

1 for the utility came out with estimates of hazard that not
2 only did not match, but the uncertainties did not overlap;
3 and we have seen that throughout.

4 [Laughter]

5 DR. REITER: Are you taking into account that
6 different people might assign different weights such that you
7 would not end up with one cumulative curve, but you might end
8 up with a family of curves as did the Electric Power Research
9 Institute Seismicity Study and the other studies?

10 MR. SHAW: I think the process you described is
11 certainly supported wholeheartedly. As we moved into phase
12 three, I think it is absolutely essential that you carry
13 along the full range of expert judgment at this particular
14 stage because we are certainly dealing here with highly
15 unknown factors.

16 When you talk about the global climate model Warner
17 made reference to earlier, it is one that is constantly
18 undergoing major changes as we proceed; and we are learning a
19 lot about how to model these sorts of things and what might
20 happen in the future, and the various glacial and inter-
21 glacial cycles: how long is between them and the differing
22 evidence that people come up with.

23 I think unless you have a process that allows all
24 of these judgments to be taken into account and defended, and
25 the results compiled so you can fit it into this kind of a

1 fashion, whether it be a Monte Carlo continuous distribution
2 or logic diagrams, whatever that process or framework is I
3 think it has to, at this stage, include the opportunity for
4 all of those opinions to be taken into account.

5 DR. DOMENICO: I am curious about this diagram
6 here.

7 In the hydraulic model, was the velocity and the
8 flux coupled by that? I mean, if the flux got to a certain
9 point where it exceeded the matrix conductivity the fractures
10 would take over and give you faster flow?

11 Was that present in the hydrologic model?

12 MR. SHAW: Yes.

13 DR. DOMENICO: So it was, indeed, a fracture type
14 of hydrologic model?

15 MR. SHAW: We had opportunity for both matrix and
16 fracture flow, and fracture flow would not come into account
17 until we exceeded a certain flow rate. So there was an
18 inter-coupling between them.

19 DR. DOMENICO: That explains why the higher the
20 flux--that was what was happening?

21 MR. SHAW: That is correct.

22 DR. DOMENICO: Will some of the details of that
23 model be in your report?

24 MR. SHAW: I hope most of the details are in the
25 report, not just some.

1 DR. DOMENICO: Good.

2 DR. NORTH: That is the chapter we were promised.

3 MR. SHAW: That is right.

4 CHAIRMAN DEERE: Thank you very much. I think we
5 have benefited from this presentation and the various
6 questions from the different people.

7 I would like to remind everyone that the Board will
8 continue in closed session this afternoon. We will be
9 meeting here, let us say now, at about 1:15.

10 Then we particularly would like to invite those in
11 the audience to come to the Structural Geology and
12 Geohydrology Panel meeting tomorrow, which is a technical
13 exchange with the Department of Energy, treating structural
14 geology and geoengineering. We will be speaking about the
15 Calico Hills risk benefit analysis, surface-based testing
16 prioritization, dry-drill and core recovery development.

17 In the afternoon we will return for Bob Shaw's
18 presentation: a continuation of what you have just heard.

19 Thank you all very much.

20 [At 12:00 Noon, the meeting recessed to reconvene
21 in closed session at 1:15 p.m., this same day.]