

UNITED STATES
NUCLEAR WASTE TECHNICAL REVIEW BOARD

TRANSPORTATION & SYSTEMS
PANEL MEETING

March 14, 1991

Albuquerque Hilton Hotel
Colorado-Texas Room
1901 University Boulevard N.E.
Albuquerque, New Mexico 87102

BOARD MEMBERS PRESENT

Dr. Dennis L. Price, Chairman
Transportation & Systems Panel

Dr. Melvin W. Carter, Member

Dr. Ellis Verink, Member

SENIOR PROFESSIONAL STAFF

Dr. Sherwood C. Chu

I N D E X

<u>SPEAKERS:</u>	<u>PAGE NO.</u>
Opening Remarks Dr. Dennis L. Price, Chairman, Transportation & Systems Panel, Nuclear Waste Technical Review Board	3
Introduction to the WIPP Program Mike McFadden, System Integration Manager, Department of Energy/WIPP	6
Transportation Program Tom Ward, Westinghouse Electric Corporation	37
TRUPACT-II Shipping Container Phil Gregory, Westinghouse Electric Corporation	80
Working with States, Tribes, and Western Governor's Association Rich Leonard, Westinghouse Electric Corporation	112
Western Governor's Association Bob Robison, Oregon Department of Energy, Co-Chair of Working Group on Nuclear Waste, Western Governor's Association	138
Chris Wentz, Coordinator, New Mexico Radioactive Waste Consultative Task Force	157
Ron Ross, Staff, Western Governor's Association	168
Robert Halstead, State of Nevada, Co-Chair, Working Group on Nuclear Waste, Western Governor's Association	170
State of Nevada Robert Halstead, Nevada Agency for Nuclear Projects	203
Environmental Evaluation Group (EEG) Robert Neill, EEG	223

P R O C E E D I N G S

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

(8:30 a.m.)

DR. DENNIS PRICE: Good morning and welcome to the meeting of the Transportation & Systems Panel of the Nuclear Waste Technical Review Board. The Board is an independent organization established by the Nuclear Waste Policy Amendments Act of 1987 to evaluate the scientific and technical validity of activities undertaken by the Department of Energy, the DOE, in its civilian nuclear waste disposal program, dealing principally with spent nuclear fuel and, to some extent, defense high level waste. Within this charge, the Act specifically directs the Board to evaluate those activities relating to the packaging and transportation of high level radioactive waste in spent nuclear fuel. To facilitate the Board's work, the Board has organized itself into a number of panels to which specific technical subjects are assigned and of which Transportation & Systems is one.

I am Dennis Price. I am the Chairman of the panel. I am a professor of industrial and systems engineering at Virginia Polytechnic Institute and State University. I am also the director of the Safety Projects Office and the university's graduate industrial safety engineering program. With me today are the other two members of the panel, Dr. Melvin Carter and Dr. Ellis Verink. Dr. Carter is a Neely Professor Emeritus in nuclear engineering and health physics

1 at the Georgia Institute of Technology. Dr. Carter is an
2 international consultant in radiation protection and an expert
3 on a broad range of issues related to radioactive waste
4 management. Dr. Verink is a distinguished service professor
5 of metallurgy and former chairman of the materials science and
6 engineering department at the University of Florida. Dr.
7 Verink brings to the Board extensive experience in materials
8 selection and corrosion. All of us serve on the Board on a
9 part-time basis. Also with us today is a member of our staff,
10 Dr. Sherwood Chu. Woody is a staff liaison for this panel, as
11 well as for our Quality Assurance Panel.

12 The sole purpose of the meeting today and tomorrow
13 is to talk about the WIPP transportation program and the
14 opportunities that may be offered to the civilian waste
15 management program in the way of lessons learned.

16 The transportation program for the Waste Isolation
17 Pilot Plant (WIPP) Program constitutes a large shipping
18 campaign of thousands of shipments over a period of many
19 years. It is scheduled to take place well in advance of the
20 transportation program associated with the civilian waste
21 management program. While there are important differences
22 between the nature of these two programs, similarities exist
23 between the two, such as the size and the scope, regulatory
24 issues, accident prevention, and emergency response measures,
25 just to name a few. These similarities offer significant

1 potential opportunities for the civilian program to learn from
2 the experience of WIPP as it develops and as the transport
3 campaign itself unfolds. The purpose of this meeting is to
4 explore these opportunities. The panel wishes to learn about
5 the nature and scope of the WIPP transportation program, the
6 programmatic actions that have been taken or are underway, and
7 the activities and perspectives of the states which would be
8 traversed by these shipments. The panel wants to identify how
9 the civilian program can benefit from WIPP experiences to
10 date.

11 Perhaps even more important are the prospective
12 opportunities to learn from events which are yet to occur.
13 That is, the panel wishes to explore ways to develop and
14 establish mechanisms to learn from the actual WIPP transporta-
15 tion experience after the campaign gets under way. For
16 example, what kind of data bases on transportation events can
17 be developed to record occurrences which are non-routine and
18 which can yield insight into how potential mishaps can be
19 prevented? Such data bases may be of great value to the
20 subsequent civilian shipping campaign.

21 I would like to remind everyone that the Board's
22 scope is limited to the civilian waste management program.
23 Transuranic wastes and the WIPP program are, therefore,
24 outside the Board's evaluative charter. Simply, we are here
25 to learn and to explore.

1 At this meeting, the panel will be briefed by the
2 DOE and its contractor, Westinghouse, on the various facets of
3 the WIPP transportation program. After lunch, the panel will
4 obtain the perspectives of the Western Governors' Associations
5 Working Group on Nuclear Wastes, the State of Nevada, and the
6 Environmental Evaluation Group. At the end of the day, time
7 permitting, we will receive brief comments from the general
8 audience. After these presentations today, we will hold a
9 roundtable discussion tomorrow morning with today's
10 participants and representatives of DOE's Office of Civilian
11 Radioactive Waste Management.

12 Before I turn the meeting over to Mike McFadden of
13 the DOE WIPP Project Office, I would like to ask everyone to
14 speak directly into the microphone. We've had some problem in
15 the past of getting an adequate record of the proceedings.
16 I'd also like to pause to thank Helen Einersen of our staff
17 and other members of the TRB staff for the detailed arrange-
18 ments of this meeting. And, I want to take this opportunity
19 to express our appreciation to Mike, the Project Office, and
20 Westinghouse for putting this briefing together for us.

21 Mike?

22 MR. MIKE MCFADDEN: I want to thank you for the
23 opportunity to speak to your distinguished Board about the
24 transportation program and lessons learned in the transporta-
25 tion program. We're very proud and honored to give you the

1 lessons learned and, hopefully, those lessons learned can be
2 passed on not only to other nuclear waste transportation
3 programs, but other hazardous materials transportation
4 programs in the United States today.

5 I am very proud of our transportation program. I
6 think it's the safest transportation program that's not going
7 down the highway today. But, seriously, I do think it's the
8 best transportation program in the United States today and I
9 wish I could take credit for it, because of my knowledge and
10 expertise, that's the reason why we have an excellent
11 transportation program. But, I can't do that. I wish I could
12 give the credit to my staff on the transportation program
13 because of their expertise and knowledge, but I can't do that
14 either.

15 The bottom line as the reason why we have such an
16 excellent program is our relationship with the State and
17 Tribal governments. They're the ones that have the expertise.
18 They're the ones that have the knowledge. They deal with
19 transportation on a daily basis. They dream about the safest
20 transportation system they could possibly have. And, through
21 those relationships, we encompass their dreams and developed a
22 transportation program based on discussions with them and
23 addressing their issues and concerns in the area of transpor-
24 tation. So, I guess, the biggest lesson learned from WIPP in
25 our development of our transportation program, I think, would

1 be is to develop a relationship with the States and Tribal
2 governments and try to address their concerns and issues.
3 And, when you do that, you will have the best transportation
4 system going down the highways.

5 We also have a super relationship with the OCRWM
6 Program. Chris (Wentz) participates in a WIPP transportation
7 task force team. We meet on about a quarterly basis. We talk
8 about issues, concerns, and philosophy about transportation
9 and we address those things at that meeting and he's been a
10 participant in that, a member of that task team. Even before
11 the WIPP task team was developed, we had a transportation
12 coordination group that met on a quarterly basis to talk
13 transportation issues and Chris was a member of that group.
14 So, we've been dealing with Chris quite a bit in the area of
15 transportation and many things that are developed in our
16 transportation program were recommendations from the OCRWM
17 Program.

18 We have at least a weekly relationship with the
19 institutional program for the OCRWM. That's the Chicago
20 office. In fact, they have detailed some people to us to
21 assist us in developing our transportation program. So, we're
22 in close contact with their institution group in Chicago.

23 And, the Yucca Mountain Project, they have had a
24 couple of sessions with the WIPP Project Office on lessons
25 learned and they've toured the facility quite a few times.

1 Even the State of Nevada officials have come to WIPP and
2 toured the facility.

3 And, that's all in my introductory slide. So,
4 you're probably getting worried if I'm going to take all
5 morning. So, let me get on into it.

6 This has nothing to do with transportation, but I
7 just wanted to let you know we are getting very close to
8 opening the facility. We think the facility--we just declared
9 base facility readiness. We've still got to do some few
10 things to get ready to bring the experimental waste in, but it
11 looks like late summer we'll be ready to make that first
12 shipment.

13 I put this one up to show you that our mandate is a
14 little bit different than the OCRWM program. Our mandate is
15 Public Law 96-164 and briefly this is what it says. It says,
16 "You shall demonstrate the safe disposal of transuranic wastes
17 from programs that are exempted from regulatory oversight by
18 the Nuclear Regulatory Commission." Part of that
19 demonstration, though, is not only a demonstration of the safe
20 disposal; part of that is a demonstration of a safe
21 transportation program. And, we will be doing that along with
22 a demonstration of safe disposal.

23 Quickly, to tell you a little bit about transuranic
24 wastes, it's non-radioactive materials, the type you would get
25 in normal industry, small industry type waste. But, there's

1 one significant difference between that and ours. And, that
2 is, ours is contaminated with radioactive materials. The
3 radioactive materials. The radioactive materials that has
4 contaminated the waste or trash are heavier than uranium and
5 primarily man-made. And, I guess, the primary difference
6 between transuranic wastes and low level wastes is long-lived.
7 We're not going to decay away in a few years. Our
8 transuranic waste definition is half-life greater than 20
9 years and most of ours is half-life and thousands of years.
10 But, we don't have drums of pure radioactive materials; again,
11 we have trash that's been contaminated with radioactive
12 materials and it's at quantities too small to recover.

13 This is typical cut sections of mock-up drums. From
14 the left to the right, we have glassware; we have solidified
15 sludges; we have metals, metallics, used equipment; and, we
16 have combustible type wastes.

17 To give you a little background into our transporta-
18 tion program, we started our transportation program in 1978.
19 The Waste Isolation Pilot Plant initiated public hearings
20 about that time and out of the public hearings we heard
21 concerns about our transportation program. And, it was agreed
22 with the State of New Mexico that we would develop a new
23 state-of-the-art transportation package and that's when our
24 transportation program for the Waste Isolation Pilot Plant was
25 initiated in 1978. And, that package was called a TRUPACT.

1 Just in case we ever get Trivial Pursuit and they give a
2 category on WIPP, I'll tell you what TRUPACT means. The TRU
3 portion is transuranic wastes, PAC is for the package, and T
4 is for the transporter. So, it's transuranic waste package
5 transporter. That design was initiated in 1978.

6 In 1986, we started working with the State and
7 Tribal governments. We did that through regional meetings,
8 the Western Interstate Energy Board, the Southern States
9 Energy Board, and also one-on-one meetings with the State
10 governments. And, that's a big step for the Department of
11 Energy. I remember making a presentation about in 1983 to the
12 management of the Department of Energy which will remain
13 nameless about that we had to start interacting with the State
14 governments to insure that we have a safe transportation
15 system. And, at that time, the Department of Energy manager
16 said we've been making these shipments for the last 20 years
17 and we've never met with the states and we're not going to
18 start now. That shows you how far we've come, we've come a
19 long way. We've been meeting with the states ever since 1986
20 addressing their transportation issues.

21 In 1988, Senator Hatfield got a vision that said
22 that the states needed funds to address some of their own
23 transportation concerns in the area of WIPP transportation.
24 And, he passed authorization to provide \$1 million to the
25 states from Hanford, Washington, down the corridor all the way

1 to the WIPP site. One of the outcomes of that funding was a
2 report that the Western Governors' Association issued to
3 Secretary Watkins which said we do need some additional funds
4 to address our transportation concerns. Secretary Watkins met
5 with the Western Governors' Associations and at that time
6 agreed to enter cooperative agreements between DOE and the
7 Western Governors' Association. But, not just only the
8 Western Governors' Association, but in the states that all the
9 transportation shipments would be going through and the Tribal
10 governments which the transportation is going to be going
11 through. I'm not going to delve into this in much detail
12 because Rich Leonard is going to talk more about that, plus
13 you have state representatives here.

14 DR. MELVIN CARTER: Mike, can I ask you a question before
15 you move on? What specifically did Congress authorize those
16 funds for? Was this to provide training and so forth or to
17 provide information or was it monies for the use of the
18 states?

19 MR. MCFADDEN: All three. They just provided the funds
20 to address any and all transportation concerns that the states
21 would have in the area of WIPP shipments.

22 DR. CARTER: What about if they wanted to buy monitoring
23 equipment?

24 MR. MCFADDEN: They were authorized to do that.

25 DR. CARTER: To do this?

1 MR. MCFADDEN: Yes. But, again, you have--Bob Robison
2 and Chris Wentz can talk more details in what they use the
3 funds for.

4 Our primary goal is develop a transportation system
5 that is as sound and as safe for the public in general. And,
6 you do that by addressing these six elements: the waste
7 package itself; the transporter package which is your first
8 line of defense in an accident situation; routing to make the
9 public and the states aware and knowing which routes you'll be
10 using; qualified carrier, once you start making the shipment,
11 that's the people that are going to keep you from having
12 accidents and actually that's your first responders at the
13 scene of the accident, too; a tracking system to be able to
14 know the status of a shipment at all times; and then once you
15 are involved in an accident, to have your state, Tribal, and
16 DOE emergency response personnel trained to handle an accident
17 situation.

18 I'm going to be addressing each one of these and, as
19 I address each one of these, I'm going to talk about the
20 states' involvement which helped us focus our programs. So,
21 you might get tired of me talking about the states, but I
22 think that's my primary lesson I want to pass on to you.

23 First of all, our waste is not waste. Our waste is
24 a product. The trash that you throw out out of your house
25 today would not meet our criteria or our specifications for

1 our waste that has to go down to the Waste Isolation Pilot
2 Plant. And, that's what we have, we have a waste acceptance
3 criteria and we have a verification system to make sure that
4 the sites meet that waste acceptance criteria. Our package,
5 itself, is a non-combustible Type A package. We don't allow
6 any liquid waste forms, no explosives, and no pyrophorics.
7 The document is fairly thick and goes into a lot more detail
8 than that, but those are the major elements for transporta-
9 tion.

10 Our transporter package is NRC certified. That is
11 your primary barrier in an accident situation to keep the
12 public and the first responder safe from our waste materials.
13 It's non-vented/doubly contained. It's been tested under
14 accident conditions. It's legal weight and dimensions and we
15 call this TRUPACT-II versus TRUPACT-I and I'm going to
16 describe what happened there.

17 DR. SHERWOOD CHU: Excuse me, Mike?

18 MR. MCFADDEN: Yes?

19 DR. CHU: Just for clarification on the last slide, on
20 TRUPACT-II, you say it was for CH waste. You might just want
21 to explain.

22 MR. MCFADDEN: Yes, it's contact handled waste. We're in
23 the process of developing another package and that package is
24 called a remote handled waste cask, but that has not been done
25 yet. It's under design, still.

1 A little history on the TRUPACT. We had a
2 rectangular design initially, one per trailer. It was singly
3 contained, vented through a HEPA filter, and was going through
4 DOE self-certification. The states said, fine, I think you've
5 got a very safe package, but for us to be comfortable and to
6 sell to the public, our constituents, we think you need to go
7 farther than just having a safe package. We would like you to
8 have double containment. We would like you to remove your
9 self-certification and go to the NRC for certification and we
10 would like the package not vented. We listened to that from
11 the states and we changed directions in 1986 to a TRUPACT-II.

12 The first year of developing a TRUPACT-II, all we
13 were doing is putting a box inside of a box to obtain double
14 containment, non-vented, and going to the NRC for
15 certification. But, that has problems. The problem is it's
16 rectangular and we are going to have pressures during our
17 transportation program developed inside that package because
18 you have to demonstrate that the package will stay safe for 60
19 days, as if it was lost in the Nevada sun during the summer
20 and in the Colorado Rockies at night in the winter. So,
21 you'll be obtaining pressures inside this rectangular package
22 and it's difficult to do in a rectangular package. So, we did
23 away with that concept and we went out to bid to somebody to
24 give us a container that was doubly contained, not vented, go
25 to NRC certification, get full-scale tested, and also would

1 hold pressure. We did that. NuPac at Federal Way won the bid
2 and that's what we have today is three TRUPACT-IIIs which are
3 cylinder type designs on a trailer. And, you'll be getting
4 more discussion on the TRUPACT by Phil Gregory.

5 In the area of routing, our effort in route
6 selection again was initiated in 1986, the same time we
7 started working with the states. And, what we wanted to do
8 was present the routes to the states and tell them why those
9 routes were selected and give them an opportunity if they
10 wanted to identify an alternate route within their state. We
11 also showed them the guidelines to do that. The best laid
12 plans, but New Mexico routes, we thought, were designated back
13 in 1982 with the state. We did that mainly because they
14 needed some funds to upgrade/improve the routes that were
15 selected. We did that. We have been improving the routes
16 that were selected.

17 In 1989, just after the Department of Transportation
18 issued some regulation guidance on how to identify an
19 alternate route within the state, the attorney general from
20 the State of New Mexico ruled that the change in the DOT
21 regulation required the state to designate the routes again.
22 They thought they did a fairly good job back in 1982, but did
23 not follow the letter of the regulation. And, the State of
24 New Mexico is in the process of doing that and Rich Leonard
25 will talk more about that in his speech. I'm sure Chris Wentz

1 will be talking a little bit about that in his talk later this
2 afternoon. But, I guess, the lesson learned here is Murphy's
3 Law, "If it's going to go wrong, it will go wrong." And,
4 also, the three things that are absolute, that's death, taxes,
5 and regulation changes. And, that's what got us here. The
6 regulation did change and the state already had a designated
7 route, but they had to go back and do it at this late date.

8 I guess, the biggest emphasis from the states in our
9 transportation program is right here on our carrier. Most
10 shipments going down the highway today use a common carrier
11 and what they do is call up a company that has tractors and
12 trailers and say, I have a product that needs to be moved from
13 Point A to Point B. Do you have a tractor and trailer and
14 permits to do that? And, they say, yes, we do. We'll be
15 right there. They don't know the drivers' experience. They
16 don't know the drivers' training. They don't know the
17 maintenance of that tractor. They don't know the maintenance
18 of that trailer. And, the states had major concerns with that
19 type of program and said, you need to go out and get a
20 contract carrier that you would have specs in there to insist
21 that they go beyond what is required and do additional things
22 in the area of safety. So, we did.

23 The states said the drivers need an emergency
24 response plan. We had that in our specs. They said you need
25 to keep this thing moving. You cannot be breaking down in our

1 states. So, we have an equipment maintenance plan that
2 requires them to have down time less than 2% of the time. And
3 then, also, that last bullet is we require them having eight
4 hour replacement capability anywhere within the United States.
5 And, we've tested this out and they can replace that tractor
6 within two hours.

7 Insured and bonded is just a DOT requirement.

8 DR. PRICE: Mike?

9 MR. MCFADDEN: Yes?

10 DR. PRICE: Is carrier singular? So, you've selected a
11 single carrier to handle the WIPP--

12 MR. MCFADDEN: Yes, Dawn Trucking out of Farmington, New
13 Mexico was the carrier that was selected.

14 DR. PRICE: Were there modal considerations before going
15 to trucking?

16 MR. MCFADDEN: Yes, there was. We did a number of
17 studies in the area of rail versus truck and truck won out
18 mainly because of operational considerations. When you go
19 rail, you lose control of your shipment. Our trucks are
20 running night and day, drivers are with them at all times, and
21 we stay in constant control of that shipment. On a rail
22 shipment, it goes to a rail yard waiting for the next train
23 going a different direction and we lose control of the
24 shipment. That was our primary reason and also cost was our
25 secondary reason. It's much more expensive to go by rail.

1 DR. PRICE: And, did you have a requirement for actual
2 experience in the shipment of radioactive cargo?

3 MR. MCFADDEN: I think the requirement--and, Tom Ward,
4 correct me if I'm wrong--I think the requirement was just
5 hazardous materials.

6 MR. TOM WARD: That was the consideration in the overall
7 evaluation criteria.

8 DR. PRICE: It was a consideration of hazardous materials
9 or radioactive, specifically?

10 MR. WARD: I believe it was hazardous materials experi-
11 ence. What we have really found, though, a lot of people say
12 why don't you use a tri-state or a chem/nuclear? What it
13 really boils down to is the quality of the drivers that you
14 get behind the wheel. It's not the management necessarily.
15 It's you've got a good driver. Basically, once you load him
16 up, you're turning him loose. And, as you'll see, we've got
17 an exceptional firm with exceptionally qualified drivers. I
18 think we've got the safest thing going.

19 MR. MCFADDEN: Thanks, Tom, because that leads into my
20 next line, driver qualifications, part of the specs. The
21 states said we don't want anybody just coming right out of
22 school and start driving these shipments. So, we put a
23 requirement on age in our spec. And, all these, Tom is going
24 to get into more detail. They said they want somebody that's
25 experienced. That's just again not right out of school, that

1 has some experience with a tractor/trailer rig. So, we put
2 that in our specs on drivers, that they're well-trained beyond
3 DOT requirements. So, not only do we have the carrier
4 required DOT requirements in training, we also put them
5 through our DOE program that we have for our couriers that
6 transfer weapons materials. So, I think we've got the best
7 trained drivers in the United States today. A good driving
8 record, we have impressive requirements in requiring that they
9 have an exceptional driving record. And, Tom is going to go
10 into more detail about that. Single commercial drivers
11 license is not a big deal nowadays, but this is before DOT
12 issued it in their regulations that the states said, hey, we
13 want to stop that and we want your requirement in there about
14 single carrier commercial drivers license. And, the states
15 were concerned about the drug abuse, long hours, that type of
16 thing. So, we have annual physical and that includes drug
17 screening on the drivers.

18 DR. PRICE: Did you get into a debate about random
19 testing?

20 MR. MCFADDEN: It has been incorporated in our program.
21 And, yes, the states requested that, too.

22 DR. PRICE: Um-hum. So, beyond an annual physical, you
23 have a random testing program?

24 MR. MCFADDEN: Yes.

25 DR. PRICE: And, were there any requirements beyond DOT

1 requirements as to hours in service and so forth, just a kind
2 of scheduling that would be done during transport?

3 MR. MCFADDEN: Tom, why don't you address that?

4 MR. WARD: I'll get to that, sir. I've got about three
5 slides on that.

6 DR. PRICE: Oh, good.

7 MR. MCFADDEN: You've been briefed on the tracking
8 system. This is TRANSCOM. I believe you have. I won't go
9 into any details here except to say that again this was a
10 state concern that was addressed by the Department of Energy.
11 They said they had a concern about our drivers going into
12 downtown Albuquerque and spending the night with their
13 girlfriend or just the location and status of the TRUPACT
14 units. Are they off the side of the road and having a flat
15 tire or have they been in an accident? From that, we
16 developed within the Department of Energy the TRANSCOM program
17 that you are familiar with.

18 DR. CARTER: What about taking their girlfriends on the
19 truck with them?

20 MR. MCFADDEN: It's not allowed.

21 DR. CARTER: Not allowed, okay. I didn't know whether
22 you were trying to save on the motel bill or just what.

23 MR. MCFADDEN: Although that sleeper cab is about as nice
24 as my son's bedroom. It has more stuff in it than my son's
25 bedroom.

1 Another area of concern with the states that we
2 addressed was the emergency response training. They said
3 their first responders or command and control officers and, to
4 some extent, their mitigation officers within the state have
5 not been trained properly. And, they asked us to develop a
6 training program to do that. So, we did. And, that was
7 developed in 1987.

8 I guess the biggest lessons learned here is, one,
9 you've got to work with the states in the training program and
10 we did work with them. And, second is you've got to go to the
11 responders versus having regional or national training courses
12 and requesting that they come to you. Their budgets are very
13 limited in the area of training and those first responders, a
14 lot of them are volunteers and do not have the funds to go to
15 regional and national training. And, that's what we did is we
16 developed a program that went to the people, to the
17 responders. But, we've done this training from the routes
18 from Idaho National Engineering Laboratory all the way down to
19 the WIPP facility and also from Savannah River Plant in South
20 Carolina all the way to the WIPP facility. We've trained over
21 6,000 emergency responders to date and we provide refresher
22 training on an annual basis. And, that training also will be
23 talked more to in Rich Leonard's presentation.

24 DR. CARTER: Yeah, I'd be interested in the details of
25 the emergency response planning, as well as the training and

1 so forth. Let me ask you another question you've had at least
2 a few years. What's the permanency or the stability now of
3 the people that have been trained as emergency responders?
4 How many of this 6,000 are going to be around and kicking when
5 you get actual transportation in route to WIPP? Do you have
6 any idea about that?

7 MR. MCFADDEN: I don't have the numbers to give you
8 today, but we plan for that. They're going to be around for a
9 long time in the emergency response field, but they do move.
10 They move from one community to another community. They might
11 move away from our shipping routes. So, we do this refresher
12 training on an annual basis. We go back to the states on an
13 annual basis to see if they want further training.

14 DR. CARTER: You don't really have any figures on the
15 stability or the number of the folks out of the 6,000 or the
16 5,000 that will be available when you get ready to ship or
17 something of that sort?

18 MR. MCFADDEN: We certainly have the people that we've
19 trained, their location where they're at. We certainly could
20 find out that information from the states, for example, and
21 ask them. Okay, these are the people we trained in
22 Albuquerque, New Mexico. Are they still in Albuquerque, New
23 Mexico? And, I imagine we could find that type of information
24 from the state if need be.

25 DR. CARTER: I was just curious because sometimes these

1 people aren't that stable and, when you train them well in
2 advance of the need, sometimes they move around, they're lost,
3 there are a number of things that can happen to attrite them,
4 in essence.

5 MR. MCFADDEN: Your feeling is correct. They do move.

6 DR. PRICE: Thus far in your opening remarks, Mike, you
7 have not mentioned anything about in your operational system
8 the data bases that you plan to use. You've mentioned the
9 tracking of the vehicles, but how about the tracking of
10 incidents throughout the system and so forth that will provide
11 you data bases to alert you in the event that corrective
12 action somehow needs to be taken in some particular area? Go
13 way back to the 1930's when they came up with triangles saying
14 that there were 300 near misses for every 29 serious injuries,
15 for every single fatality; therefore, you need to monitor, if
16 you're going to be on top of things, those relevant near
17 misses. Do you have any kind of monitoring program planned in
18 your operational program for picking up when things start to
19 get beyond what you would consider a controlled stage and
20 maybe need to take some corrective action?

21 MR. MCFADDEN: Well, I guess, I don't really see the
22 reasoning for your question. I can't come up with an answer.
23 We have expanded in our track rig. We have a computer
24 monitoring that we monitor the rpms, the--I believe it has in
25 there like emergency braking. So, we would know that type of

1 thing. So, we would know if there's been some reason why they
2 had to emergency brake. But, as far as historical nationwide
3 near misses, I'm at a loss. I don't know how to answer that.

4 MR. GERALD BOYD: The Department has a new system. It's
5 called the Occurrence Reporting and Processing System that is
6 just going into effect. And, we have coming on line the first
7 of April a computer data base that will track all incidents of
8 any kind within the complex and that includes any transporta-
9 tion incident. And, the guidelines that are established for
10 that allows the particular individuals that are working with
11 the, you know, situation in this case--it would be the WIPP
12 site--to categorize the type of incident that occurred
13 according to some criteria. That goes into a computer data
14 base and is tracked over a period of time to determine whether
15 or not corrective actions are necessary to do some causal
16 analysis of what's happened. So, any kind of incident that
17 occurs with a WIPP shipment will, in fact, go into the overall
18 DOE system and we think that that system is being designed in
19 a way that it will allow us to get at the kind of detail that
20 I think you're asking about.

21 DR. PRICE: Is that an on-site data base or does it
22 include anything that might happen along any of the routes?

23 MR. MCFADDEN: It includes routes, too. It's much bigger
24 than WIPP. It goes with all DOE shipments, yeah. You need to
25 define what--

1 DR. PRICE: Would it include anything that might happen
2 to the container and so forth?

3 MR. BOYD: The DOE order that is written requires a full
4 report any time there's any kind of incident as to the cause
5 of it, the outcome of it, corrective actions that are
6 necessary. So, it's a rather extensive reporting requirement
7 and will go into a data base. And, that's for all sorts of
8 transportation including WIPP shipments.

9 DR. PRICE: And, it's called again what?

10 MR. BOYD: It's called the Occurrence Reporting and
11 Processing System for the Department of Energy.

12 MR. MCFADDEN: You need to define what an incident is.
13 It's not a near miss.

14 MR. BOYD: Well, you're right. I mean, I suppose if a
15 driver managed to, you know, miss a car that pulled in front
16 of him or something, according to the criteria right now, that
17 may not get put in there. But, if there is any sort of
18 accident, at all, regardless of the level of it, then it is
19 defined as an incident and would go into that. Now, if you
20 had mechanical problems associated with the vehicle itself,
21 certain criteria that categorizes things as off-normal
22 occurrences which is sort of an oddball name, but the purpose
23 of that is to get at the lower level kinds of things that are
24 not actual emergency conditions, but are recurring problems or
25 problems that you want to keep track of to make sure they're

1 not recurring. So, the way the system is set up is that it
2 will allow us to look at a full range of incident occurrence.
3 We haven't exactly talked about it at this point how far down
4 into that you go with near misses.

5 DR. PRICE: Um-hum, okay.

6 MR. MCFADDEN: Phil Gregory wanted to add to that.

7 MR. PHIL GREGORY: We will be required under the
8 certification issued by the Nuclear Regulatory Commission to
9 maintain records for the packaging and that will include all
10 of the use of the packaging regardless of where it is. And,
11 any time a non-conforming condition occurred, that non-
12 conforming condition would be recorded and tracked.
13 Additionally, we are required to evaluate those non-conforming
14 conditions on a periodic basis, so that we can establish
15 whether or not a trend is developing that would cause us to go
16 back and seek a corrective action for what might look like a
17 random occurrence, but over a period of time develops a
18 pattern. So, both of those types of record keeping, in
19 addition to all of the routine records, will follow that
20 package throughout its life.

21 MR. MCFADDEN: Okay. That's what our shipments are going
22 to look like when they do get to move from the generator or
23 storage sites to the WIPP facility, three TRUPACTs on a
24 trailer. And, Tom Ward is going to go into more detail about
25 the transportation program.

1 I just want to conclude by saying that I do believe
2 we've got the safest transportation system in the nation
3 today. I wish I could take credit for it, but I'm just a
4 facilitator. The credit is really due to the State govern-
5 ments and our relations with the State governments in
6 addressing their concerns and issues in our transportation
7 program.

8 Let me introduce some of the panel members,
9 especially for the people in the audience. This is Gerald
10 Boyd. He works for the Department of Energy at headquarters.
11 He's representing the transportation program from head-
12 quarters.

13 The next person over is Tom Ward with Westinghouse.
14 Westinghouse is our management and operating contractor at
15 the Waste Isolation Pilot Plant. Tom Ward has been in the
16 area of transportation for--I guess, about 1986 is when he
17 came on board with the TRU Waste Transportation Program. He's
18 the one who was involved with the initial transportation
19 interactions.

20 Phil Gregory, we call Phil Mr. TRUPACT. He's been
21 on the TRUPACT-II program from its inception back about 1987,
22 I believe, Phil.

23 MR. GREGORY: '85.

24 MR. MCFADDEN: '85. So, he knows quite a bit about the
25 TRUPACT and the development of TRUPACT and that's what he's

1 going to be talking about.

2 Rich Leonard is a new face, respectively. I think,
3 Rich, you've been with us about a year now. Rich is involved
4 with our institutional program. Definition of institutional
5 program is that's a program that deals with the State govern-
6 ments and the Tribal governments. And, he'll be talking about
7 our interaction with those folks.

8 I'd like to introduce somebody in the audience, Bob
9 Spooner. He works for me. He's our transportation manager.
10 So, he can add more discussion on transportation. Bob has
11 been with us a little less than a year, but he's had to learn
12 a lot over that year's time. I won't be with your panel
13 tomorrow, but Bob Spooner will be representing me with your
14 panel tomorrow.

15 And, I'll answer any questions or I'll turn it over
16 to the next speaker.

17 DR. CARTER: Let me ask you a couple of questions, Mike.
18 I've developed several, but a couple of them may not be
19 appropriate to you. On the other hand, they might. So, let
20 me ask them at this stage and you may want to defer them to
21 someone else.

22 One, are there any differences--and, I'm primarily
23 talking about major differences--between the transportation
24 requirements in the transportation phase for the experimental
25 or demonstration phase versus the disposal phase?

1 MR. MCFADDEN: There's no difference in the transporta-
2 tion program, at all. There's going to be quite a few less
3 shipments. In the operational phase, we're talking about
4 1,000 shipments a year. During this experimental phase, we're
5 talking a couple of shipments a month. So, it's substantially
6 lower. The only other thing that is different is the waste
7 and the waste packaging, itself. The experimental wastes come
8 to us in experimental bins, not in 55 gallon drums. The bins
9 have valves on them to collect gas generation data and things
10 like that from it. Those bins--so, the waste is placed in
11 those bins and those bins are placed in a standard waste box
12 that fits inside of a TRUPACT. So, that's about the only
13 difference in our transportation program.

14 DR. CARTER: Okay. I presume though that if there are
15 major problems encountered during the demonstration or
16 experimental phase, then all of the waste has to be
17 retrievable and removable from the WIPP site. So, you would
18 get involved in transportation somewhere else if that should
19 occur.

20 MR. MCFADDEN: That is correct.

21 DR. CARTER: Okay. The other thing, you mentioned a
22 little bit about the New Mexico attorney general's ruling
23 regarding transportation. I wonder if you would address or
24 someone would the primacy as far as transportation issues are
25 concerned between the Department of Transportation on a

1 Federal basis and the various states?

2 MR. MCFADDEN: I certainly can't talk to that. Maybe,
3 somebody else in the audience can talk to that. Gerald, can
4 you--

5 MR. BOYD: I guess, if you could define that a little bit
6 better, I might try. I'm not sure I can--

7 DR. CARTER: Well, whose rules are we going to follow,
8 the Department of Transportation or the State of New Mexico or
9 someone else, assuming those rules and regulations are
10 somewhat different? It's that simple or that complicated.

11 MR. BOYD: Well, let me make a stab at this. Mike, you
12 might or, Tom, you might can help out here. We follow DOT
13 regulations. However, that part of the regulation that
14 relates to state designation is what we're trying to negotiate
15 with all the states at this point. And, I think we've been
16 very successful at that. We do have one concern in New Mexico
17 that yet has to be dealt with and I expect Chris Wentz can
18 probably deal with that from a state perspective much better
19 when he makes his presentation later. Tom, can you--

20 MR. WARD: I think if you follow the regulations
21 literally if we were to ship tomorrow, for example, we would
22 go right through Albuquerque, around Santa Fe, down to El
23 Paso, east on I-20, over to Pecos, and up. That would be
24 following DOT literally to the letter of the law. However,
25 the State of New Mexico has the option of designating a road

1 and, if they designate a road, whatever that may be, that's
2 where it will go. We all recognize that by following that
3 route, as opposed to coming down 285, we add several hundred
4 miles. The intent of DOT is supposedly to reduce risk and
5 traveling through populated areas. It would make sense to
6 follow the state's recommendation and use portions of 285,
7 either of the alternate routes that have been proposed.

8 DR. CARTER: Okay. I presume from what I'm hearing you
9 try to compromise if there are differences of opinion in this
10 regard, but if push come to shove, then you've essentially
11 made a policy decision within DOE to defer to the state's
12 judgment. Is that correct?

13 MR. MCFADDEN: No, let me expand on that. We follow the
14 Federal Department of Transportation regs. We follow the
15 State Department of Transportation regs. When there's an
16 inconsistency between the two, we solicit an inconsistency
17 ruling from the Department of Transportation. Once they rule,
18 then we go back to the states and we work out that difference.

19 DR. CARTER: The reason for the question, of course,
20 there have been many differences between the Federal govern-
21 ment and states in the transportation area for many, many
22 years and this is, in effect, a legacy, I guess, of the
23 transportation business at the moment. So, I was curious when
24 it comes to the WIPP thing how it's going to be handled from a
25 policy standpoint. That's really what my question alludes to.

1 MR. MCFADDEN: If there's inconsistencies, that's how we
2 would address it.

3 DR. CARTER: Okay. We've got at least two people crying
4 to be heard in the audience. The first is Chris Kouts.

5 MR. CHRIS KOUTS: I'm not crying yet.

6 DR. CARTER: Okay.

7 MR. KOUTS: I'm Chris Kouts from the Department of
8 Energy, Office of Civilian Radioactive Waste Management. The
9 Federal regulations, Dr. Carter, allow a state to designate
10 alternatives. Basically, what the DOT routing regulations for
11 route control quantity, such as with WIPP or what our program
12 will ship, says that we use interstate highways and has a few
13 other nuances to it. But, it does recognize that the states
14 do have the right to designate alternatives within those
15 states. And then, the Department or any shipper is duty bound
16 at that point to follow those designated routes. The issue, I
17 think, in New Mexico had to do with the change of the
18 regulations in terms of getting onto the interstate at the
19 quickest point or the shortest distance, if you will. And,
20 the routes that had been designated for WIPP in the past did
21 not deal with that issue and that's why the state wanted to
22 revisit, if you will, their route designations because they
23 felt some concerns, as Tom was indicating, as to where the
24 routes were going. But, the Federal regulations allow states
25 to designate alternatives and the shipper is duty bound to

1 follow those.

2 DR. CARTER: Well, that essentially says they're
3 compatible in a--

4 MR. KOUTS: Yes, there are not inconsistencies in that
5 regard.

6 DR. CARTER: Well, as you know, it's fairly important
7 because what route is taken, the population distributions, and
8 so forth involve obviously the risks involved in transporta-
9 tion. That's at least the prime reason it's of concern.

10 MR. KOUTS: And, I think the DOT regulations allow for
11 that. That's what we're seeing here.

12 DR. CARTER: Okay. We had someone else's hand up that
13 would like to speak. Please, identify yourself, sir?

14 MR. CHRIS WENTZ: I'm Chris Wentz with the State of New
15 Mexico. And, Chris summed it up very accurately that the
16 Federal regulations do allow states to go through the route
17 designation process following the U.S. Department of Trans-
18 portation guidelines. Once these states designate
19 alternatives to the Federal highway system, routes that they
20 then have to file them with the U.S. Department of Transporta-
21 tion before they become effective. But, it essentially is a
22 complimentary procedure.

23 DR. CARTER: Okay. Thank you very much.

24 One additional question, does the DOE have any
25 concerns with TRU wastes now other than their radioactive

1 characteristics or radiological characteristics?

2 MR. MCFADDEN: Yes.

3 DR. CARTER: What are other concerns with them?

4 MR. MCFADDEN: We fall under the mixed waste category.
5 We have radioactive materials and we also have hazardous
6 constituents in our radioactive materials. Most of our drums,
7 I think about 80% is the projection, has hazardous materials
8 in it also, although each drum probably has less than 1%, each
9 one of those 80% has less than 1% makeup of hazardous
10 constituents. So, that's the other items that we're concerned
11 about.

12 DR. CARTER: Okay. So, the training programs and so
13 forth have to concern themselves not only with radiological
14 emergency potential, but also with toxics or hazardous
15 materials?

16 MR. MCFADDEN: In a transportation accident, the primary
17 factor there would be the radiological concern.

18 DR. CARTER: Thank you.

19 DR. PRICE: Mike, in our public hearings, we've heard
20 comments and I'll just try to reflect them as accurately as I
21 can without judgment and ask for any comment that you might
22 have on them.

23 MR. MCFADDEN: Thank you.

24 DR. PRICE: A single comment about training anyway,
25 saying that when the spent fuel program comes into effect and

1 begins to address the issue of training that they would like
2 to have a training program which is fully adequate, not one
3 like WIPP. This is the kind of comment from the public that
4 we hear. How would you respond in comparing the two training
5 programs and even conjecture, perhaps, as to why that
6 particular comment comes from the audience?

7 MR. MCFADDEN: I would say only one statement. The
8 people who are making that statement have never been to our
9 training classes. The people that we do train, we have
10 statistics on that. Eight to ninety percent rate the thing,
11 rate the training class exceptional to outstanding. So, the
12 people that we are training think the training program is what
13 they're looking for and the comments that you're getting would
14 not reflect that they've gone to the training class.

15 DR. PRICE: Um-hum. And, do you somehow direct your
16 training program to be sure that it covers all along the
17 routes and so forth? That people are trained with some
18 regularity with respect to distance or geography?

19 MR. MCFADDEN: Yes, we do. And, I'm proud of that
20 aspect. We go to local communities along the transportation
21 route. We don't just train metropolitan areas. We go to
22 where there is volunteer fire departments, emergency response
23 crews, and we train those people along the transportation
24 route. I think our judgment on the training was we didn't
25 want people to have to drive more than 100 miles to go to our

1 training class. And, that's how frequent we do the training
2 along the transportation route. And, as far as recurrence, we
3 meet with states on an annual basis. They're the ones that
4 identify to us where they need some additional refresher
5 training or first time training in a community. Maybe there's
6 a lot of turnover in a certain community and they identify
7 those to us and we go do that training on an annual basis.

8 DR. PRICE: I appreciate it.

9 MR. MCFADDEN: Okay. Well, with that, I'll turn the
10 microphone over to Tom Ward. He's with Westinghouse and again
11 he's been with the transportation program for a long time.
12 He's the one that developed it and he's very knowledgeable
13 about the transportation program.

14 MR. WARD: I'd like to thank you for the opportunity to
15 address the Board. I saw in your last two reports to Congress
16 that two of the things you were interested in were human
17 factors and safety. And, as I go through here, I'd like to
18 stress those. I'd like to point out that you're all aware of
19 the safe record we've established with radioactive shipments
20 in the past 40 years. I'd like to point out that except for
21 tracking recently none of those shipments have had the
22 controls that you're about to see.

23 You asked a question about rail and modal mixes, a
24 little clarification on that. In 1987, the rails came to us
25 and we had a meeting and what we learned from that meeting was

1 to get from Savannah River or Hanford to the WIPP site would
2 take three rail companies in transit time of between five and
3 seven days. At some point in time, they're going to be left
4 in one of the railroad yards and be transferred. With our
5 particular operation, there's someone with it at all times.

6 My next comment is not necessarily favorable to the
7 railroads, but it is documented in March of last year in
8 testing our tracking system. Idaho made a shipment--I believe
9 it was a railcar and three gondola cars to go to Oak Ridge,
10 Tennessee. The cars were pinned together and they were asked
11 to go directly to go, do not stop. To make a long story
12 short, all the cars went in different directions and the
13 tracking system arrived after the gondola cars. And, I
14 believe there's one other incidence of that. Also,
15 logistically, at \$250,000 apiece, to do rail economically you
16 would have to have a huge inventory of the TRUPACT-IIIs. If it
17 takes five to seven days, you have a major portion of your
18 inventory either up at Hanford or one of the sites being
19 loaded. The rest of the people aren't doing anything and then
20 the five to seven days, while they're in transit, they're not
21 doing anything, and then while they're being unloaded at the
22 WIPP site, the other people--you can see theoretically with
23 the trucks you can do just in time delivery. Shipments from
24 Idaho, for example, average about 31, 34, or 38 hours by
25 driving straight through.

1 DR. PRICE: Is there a lesson to be learned in that with
2 respect to the civilian waste program?

3 MR. WARD: I think a lot of that will spill out by the
4 weight considerations about what you finally end up with the
5 overall shipment weight and I'll address shipment weights
6 later. If you have an experience similar to what we have had,
7 I suspect you could be forced into either overweight shipments
8 or rail.

9 Another consideration we had was Los Alamos doesn't
10 have a rail head and Nevada doesn't have a rail road. So, at
11 least two and I believe there's one more--I forget at the
12 moment--that doesn't even have a rail facility. So, the truck
13 to us provides the best option and the most safety.

14 You asked about--

15 DR. CHU: Excuse me, Tom. Back on that rail evaluation,
16 the consideration you gave to rail was for general carriage,
17 not--when you say you lose control--

18 MR. WARD: Well, I think general carriage.

19 DR. CHU: As general carriage.

20 MR. WARD: I think your time frame is close to the same
21 even on dedicated shipments and dedicated shipments, of
22 course, are more expensive. So, the figure I think we're
23 using right now, the estimate is about \$1.72 mile to do it by
24 truck.

25 You asked about the difference between the experi-

1 mental program or the full phase program or operational
2 program. I'd like to point out that in the interest of
3 safety, you're aware that we are only required to use
4 preferred routes for highway route control quantities. For
5 non-highway route control quantities, theoretically we could
6 use any road. But, for our particular purposes, full or
7 empty, highway route control or not, we intend to use the same
8 roads. The civilians, so to speak, will never see a shipment
9 off one of these preferred roads.

10 The transportation system here has been in the
11 development phase for approximately four years. When we first
12 started, one of our major considerations knowing that your
13 program was coming down was not to create drivers with two
14 halos because, if so, you would have probably required to have
15 three. Discussing this morning, I don't think it's been said
16 anywhere that you have to use us as a starting point with your
17 program. I submit that in view of the safety requirements we
18 have for our program, you would be hard-pressed to say that
19 you're going to do anything less.

20 We had a choice of three possible means of a
21 carrier; a common carrier, a contract carrier, or what's known
22 as a guaranteed solicitation bid. The Department of Defense
23 uses that and saves a lot of money. Basically, what that is,
24 it's a contract, if you will, of the common carrier that says
25 I will give you all my business if you give me the best rate.

1 However, we found that a contract carrier can be dedicated
2 and you have total control.

3 The tractors are totally dedicated to WIPP
4 shipments. You'll see later they're unique. They weigh
5 18,000 pounds or less. You'll find some tractors that weigh
6 20,000, 21,000, 25,000. Weight is a major consideration. If
7 you have total control of your tractors, you can be assured of
8 a high level of maintenance. When we started this program, we
9 backed out 18,000 pounds for the tractor. It's parked outside
10 at the moment. It currently weighs 17,960. With fuel, with
11 food, with drivers, or with snacks, with tools, with chains,
12 it gets pretty close. I think the weight is a definite
13 consideration. I believe the civilian program is looking for
14 a weight limitation of 15,000 pounds. We were initially asked
15 to limit it to 15,000 pounds. There was even a proposal at
16 one time to have the drivers go up and down the road with four
17 half empty fuel tanks. We cut the line at 18,000 pounds,
18 allowed 62,000 pounds for the trailer and the TRUPACTs. We
19 also had some unique power requirements. In our request for
20 proposal, we asked for at least 400 horsepower. We have 440.
21 It pulls a load even at 79,960 which we've been at very well.

22 Our drivers are specially trained. I'd like to hold
23 further discussion on that. I've got a 35mm slide which
24 addresses those requirements. Our drivers are specially
25 trained on the TRU waste program, the nature of TRU waste, as

1 well as the routes.

2 One of the things unique to the DOE contracting
3 policy, if you will, after we signed the contract, what we had
4 was a statement of work stapled to a contract. Nowhere in the
5 contracting process did it say how they would perform the
6 work. So, what we did was amend the contract and we required
7 a management plan. The management plan takes the technical
8 proposal that the carrier submitted and ties it to the
9 contract. We had sent the request for proposal out to 94
10 agencies, 14 responded. From those, a short list of 5 was
11 selected.

12 One of the major concerns is vehicle maintenance.
13 The public is highly concerned about this. As you know, the
14 DOE has a contract with the Commercial Vehicle Safety Alliance
15 (CVSA) to come up with criteria to inspect civilian shipments.
16 I think we're going to skew your data a little bit because
17 knowing this and not wanting them to find anything, so to
18 speak, on our shipments, we have arranged to have all our
19 shipments in our maintenance facility, Hobbs, inspected to
20 these same criteria before it leaves for every shipment.
21 These are empties going out to generator site. When it gets
22 to the WIPP site--mind you, this has come from the maintenance
23 site. They bring a tractor and an empty trailer to the WIPP
24 site and they drop that trailer. The tractor picks up to a
25 trailer loaded with empty TRUPACTs. The people who are

1 loading the empty TRUPACTs on check. We have a document
2 holder in the rear placard to make sure that vehicle has been
3 inspected, inspected to these CVSA standards. Our drivers
4 will do a pre-trip inspection at the site of their own.
5 That's written and documented. They do an in-route inspection
6 every 100 miles or two hours in-route. They're subjected to
7 all port of entry and weigh stations and, mind you, this is
8 full or empty. When they get to the destination, they do a
9 post-trip inspection. The shipment is loaded. The states,
10 you see the point of origin, come in and do their own
11 inspection. Our driver is doing a pre-trip inspection.
12 They're also checking it every two hours or 100 miles on the
13 way back and the State of New Mexico, I believe, is going to
14 do a destination inspection also. The intent of the CVSA
15 inspection criteria is that when one state applies a decal and
16 inspects it, it can go through the next state. They recognize
17 the decal and honor the procedure. However, Colorado has its
18 own law and we do have a Colorado permit. Colorado state law
19 requires them to inspect the shipment. So, shipments from
20 Hanford in Idaho will be inspected at the northern point of
21 entry at Fort Collins in all cases. They have modified it
22 slightly and said once you're inspected there you can bypass
23 the next two weigh stations, Trinidad and Monument.

24 DR. CARTER: Tom, I wonder if you'd tell us the major
25 ingredients of what the CVSA is developing? Now, is this

1 primarily taking a look at the paperwork or they're going to
2 inspect the truck and its pertinences, the TRUPACTs
3 themselves? Are they going to do any monitoring? I notice
4 that the--

5 MR. WARD: They inspect the driver's records, the driver
6 qualifications, the vehicle, and do a radiological inspection.
7 There's a meeting up in Colorado Springs next week to
8 finalize those procedures. They've been in review process
9 for, I believe, four years. Four years, I believe.

10 DR. CARTER: Okay. Now, this is where, I presume,
11 they're working with the conference of radiation control
12 program directors as far as the rad side of it. Is that true?

13 MR. KOUTS: Chris Kouts again. I might mention that this
14 is basically a cooperative agreement that was issued from our
15 office for our shipments that the WIPP program has allowed us
16 to use their shipments as a model, if you will, to get data
17 and to determine the efficacy, if you will, of the inspection
18 procedures they develop. So, it's really a cooperative
19 agreement that was established by our office that the WIPP
20 people have graciously allowed us to apply to their shipments.

21 DR. PRICE: The in-route inspection was every two hours
22 or every 100 miles, whichever is--

23 MR. WARD: Or 100 miles, yes, sir.

24 DR. PRICE: How do you determine which to do?

25 MR. WARD: Whichever is first.

1 DR. PRICE: Whichever is first.

2 MR. WARD: And, of course, you have to allow some
3 reasonableness in this. I mean, you may have to go another
4 five miles to find a safe place to park to perform that.

5 DR. PRICE: What does that in-route inspection consist
6 of? They pull off the side of the road and do what?

7 MR. WARD: If you check the 49 CFR, the only really
8 requirement they have is to kick the tires. But, the drivers
9 are specially trained now and will check the tie-downs,
10 they'll check the lights, they'll check for air leaks, they
11 check under the hood. We have specified that they do not have
12 to document this inspection. They make an entry in a log
13 book. However, if they do find something wrong, then they
14 document what they've found. The reason I say that is if you
15 incorporate all the inspections from the WIPP site to Hanford
16 and back and if all--if, if--all the weigh station ports of
17 entries were open, it's potentially 72 inspections.

18 DR. PRICE: Yes. Wasn't there some discussion about that
19 being a bit of overkill?

20 MR. WARD: That may be. By DOT, they're required to stop
21 every 100 miles just to kick the tires. So, while they're
22 stopped, we've expanded that a little bit. We can't get by
23 the 100 mile stop. That's Federally mandated.

24 Another major concern is weather. The states are
25 working with us. They've developed a weather protocol to

1 notify us of any weather they're aware of. For example, in
2 the Hanford area, before the shipment leaves, they'll make a
3 check and make sure. They'll check with the state, the
4 traffic manager, the driver, and our WIPP central monitoring
5 room to make sure the route is clear before they depart. In
6 1989, we signed a safe parking agreement. This is as opposed
7 to a safe haven agreement. Safe haven is for nuclear weapon
8 shipments at DOD installations. We signed one with the DOD
9 for our shipments to be able to park in-route. It's
10 coordinated through the Joint Nuclear Action Coordinating
11 Center in the same manner as the safe haven agreement is. Our
12 WIPP central monitoring room, we have the weather channel in
13 there that's monitored 24 hours a day. We have a separate
14 program called KAVOURAS. It's a PC based system. There's
15 basically two, KAVOURAS and Accuweather. KAVOURAS allowed us
16 to tailor a program which goes right up the route to the
17 generator sites. So, you don't have to mentally interpret the
18 condition in the state and figure out where your routes are.
19 The intent is if the weather channel gives you an indication
20 of severe weather, you can get more specifics from the
21 KAVOURAS system and you can also contact the states, or in
22 small valleys or pockets of whether the state may contact you
23 to advise you of the weather. The ultimate decision is
24 basically left to the driver. I mean, we can tell you that
25 it's snowing someplace and you're in the cab and looking out

1 and it says, no, it's not. Or you can tell him the weather is
2 clear and he says, no, it's not. So, the ultimate decision is
3 left up to him. Separately, the states are developing their
4 own recommendations for safe parking areas.

5 I mentioned the weight being a concern. We start
6 off with the overall limit of 80,000 pounds so as not to
7 require overweight permits. I mentioned we backed out 18,000
8 pounds. Fortunately, the tractor weight hasn't grown. The
9 trailer designed weight was 8500 pounds. They weigh 9860
10 pounds, I believe, plus or minus 40 pounds, all of them.
11 We've got 17 of them. The TRUPACT initial design was 10,800.
12 That's grown to 12,500. If you have similar weight gains or
13 experience similar weight gains, your payload will be
14 affected. In your particular case, I believe your payload is
15 not divisible. Ours, theoretically, is and we can load
16 manage.

17 DR. CARTER: Is this wet or net?

18 MR. WARD: That's net. That's--I'm sorry. That's wet.
19 That's with fuel, ready to go.

20 One of the questions asked when we had a demonstra-
21 tion of this for the Western Governors' Association last week
22 is what are you going to do when you drop one of these? I
23 have a video on that that I'll show you later. One of the
24 questions, the concerns of everybody is the extent of the
25 damage. You've probably seen the testing requirements for a

1 Type A package. They're quite severe. What do you do if you
2 puncture this? The recovery guide, which I'll give you a copy
3 of, addresses that. It tells you what to do, if you can make
4 temporary, compensatory corrections to the package, how to
5 transport it. It includes replacement tractors and trailers,
6 as Mike mentioned. The carrier has an eight hour in-route
7 emplacement requirement. We've got approximately 12,000 miles
8 of roads. He has a contract or an arrangement with Ryder and
9 Hertz. We've also identified some smaller companies to be
10 able to do this. On three occasions now, I've basically
11 contacted the driver, pull over and find a telephone, and let
12 me know where you are. Then, you call up the carrier and say
13 your tractor just quit, replace it. The first time, it took
14 three hours and 45 minutes; the second one, I think, was four
15 hours and something. In Colorado, basically to prove a point,
16 we started at 10:02. We were asked to replace a tractor as
17 part of the Transax exercise which was conducted there. The
18 first tractor arrived in two hours and 26 minutes and that was
19 including a vehicle inspection at the port of entry. The
20 second one was 20 minutes behind that. And, mind you, this
21 was at Colorado Springs. The third tractor arrived in seven
22 hours and 58 minutes from Albuquerque. The point is you can
23 do it from a long distance. In a real situation, that
24 wouldn't be acceptable to take that long. But, he does have
25 the capability to replace the tractor.

1 The tracking system, you'll see later we're
2 developing a system whereby we can transfer that from one
3 vehicle to the other. We estimate--we're testing at a
4 magnetic antenna mount now--we could probably do that in 15
5 minutes so we don't lose our tracking capability. I'll go
6 more into the recovery aspect when we show the video.

7 The contract for the trailer called for a commercial
8 over-the-road trailer. The object of the trailer program, of
9 course, is to get the lightest trailer possible to maximize
10 payload. You saw how the weight grew. At approximately the
11 30,000 mile level we developed a crack in one of the non-
12 loadbearing cross members. I'd like to point out this as a
13 safety concern, but it was not an out-of-service criteria.
14 The cross member was redesigned and I'll show you the slide of
15 that shortly. In order to test or redesign, we've got a
16 40,000 mile test program outlined. Half of those miles, we've
17 put on carrying empty TRUPACTs, the other half will be done
18 carrying TRUPACTs filled with sand or trailers filled with
19 sand to most closely replicate the experience we expect to
20 encounter. We added a factor of a third to the mileage where
21 the crack occurred before.

22 We've proposed to do a dipenetrant check on the
23 cross members every 5,000 miles. We may modify that shortly
24 based on experience. At the end of every trip, it will get
25 the CVSA inspection just like it normally would. Ever since

1 the crack developed, we've been telling the public what it
2 was, showing the corrective action. The State of New Mexico
3 has inspected all our trailers and they all have CVSA
4 inspection stickers at the moment.

5 One of the things the civilian program ought to
6 consider is conducting dry runs to a site. We have a video
7 produced by Idaho, for example, in which we go through the
8 complete shipment cycle from the WIPP site with empties. We
9 stopped at all ports of entries. Colorado has done their
10 vehicle inspection procedure. They've tested the radiological
11 procedures, so has the State of Idaho. We've purposely had
12 the shipment deviate from the route to see if it could be
13 detected. It was detected in 20 minutes. Since we only get a
14 position update every 15, I consider that quite good. During
15 our trailer test, we propose to do that again. We'll put the
16 advance shipment information in our tracking system and bills
17 of lading in our tracking system and coordinate with the
18 states to do their vehicle inspection protocol. Hopefully,
19 we'll be able to have some adverse weather, pull a couple
20 tractor replacement exercises. It's a good test program to
21 see if your shipment methods are good before you actually have
22 to use them.

23 Idaho, for example, can take the empty TRUPACTs,
24 fill them up with sand. We can bring them on back, bar code
25 them, label them like we're supposed to, unload them like

1 we're supposed to, and place them underground. We have done
2 that before with bins, but we've got an opportunity to do that
3 additionally and solicit the state's participation, get them
4 familiar with their tracking function, as well as their
5 hazardous material monitoring procedures.

6 If you want to save time, I think a common carrier
7 is a non-player. You can't control your drivers. You can't
8 control your vehicles. It's difficult to keep track of your
9 maintenance. You mentioned carrier qualifications. Dawn
10 Enterprises is the largest independently-owned trucking
11 company in the United States. I'll tell you more about those
12 in a moment. Hopefully, I've raised a flag about potential
13 weight problems.

14 The trailer test, we had a test. We checked an air
15 rod tandem axle, a spring rod tandem axle, and a spread axle
16 air rod trailer. We found the air rod spread axle to be the
17 best. The truck is outside, you'll see it. We had basically
18 two problems with that, fender supports and that crack in the
19 cross member which I'll show you, but you might as well go
20 ahead and do a, say, 40,000 mile trailer test to begin with
21 with anticipated payload and just see how your trailer holds
22 up.

23 I mentioned the management plan right up front.
24 That will be a part of the contract. And, the driver
25 qualifications, I mentioned that the transportation program

1 has been in the development stage for four years. We just
2 instituted a peer review program. It's like what can we do to
3 make the driver selection better? The criteria is already
4 high. We have one of the drivers in the back, Robert Avance.
5 He's exceptionally qualified. He was the New Mexico state
6 champ in the flatbed class. He placed 24th in the nation. He
7 knows approximately six or seven drivers from the company he
8 came with, where they came from, and of those, there's only
9 about two that he would recommend to be part of his team.
10 And, in discussing this, it's like that's pretty tight. What
11 can we do to make sure we only get guys with their
12 recommendation? If upper management takes a look at them,
13 let's get their input. So, what we've instituted is a peer
14 review program where upper management does their initial
15 screening and testing. They talk to the drivers. The drivers
16 give a yea or nay and then they have a 90 day probationary
17 period.

18 In June or July, I forget which, of '89, the
19 National Academy of Science looked at our transportation
20 system and they came up with this conclusion that we're quite
21 proud of. I'd like to point out that they made this
22 conclusion prior to the enhanced driver training program that
23 I'll explain on the slides, prior to our peer review program,
24 and prior to our CVSA inspection program which I'll address
25 momentarily.

1 Could somebody turn that projector on, please?

2 (Whereupon, a slide presentation by Tom Ward was
3 shown.)

4 MR. WARD: He is looking in the toolbox, that part right
5 there. What I have to show you this slide for is to show you
6 the changes we've made in our tracking system. The tracking
7 system you see there is that quadrapod arrangement with the
8 antenna on the top. The little wire whip on the left hand
9 side happened to be the LORAN-C version. The globe type
10 antenna is the one that communicates with the satellite. The
11 intent here was to track the shipment. That's for the
12 trailer, the load, the cargo. That's why it's on the
13 gooseneck. What we found out, however, was that the wire
14 ship, the stainless steel whip, snapped off three times. The
15 plastic base that you see on the outrigger there ripped off
16 the little neural knob that attaches it there. The pipe
17 directly below the round globe there snapped off one time.
18 The cross members you see just behind Mark's head broke one
19 time and cracked twice. We changed that to the location you
20 see it on top of the tractor. If you're going to fire the
21 driver for not maintaining 24 hour surveillance of the
22 shipment and considering what it is, it seemed prudent to put
23 it on top of the tractor. We haven't had a problem with it
24 since. It looks like this (indicating). That's a piece of
25 aluminum. I'm not sure if that's a CB antenna there or the

1 telephone antenna.

2 DR. CARTER: So, you assume that the trailer goes
3 everywhere the cab goes. Is that what you're--

4 MR. WARD: Yes, sir.

5 DR. CARTER: Okay. That's an assumption?

6 MR. WARD: That's an assumption. There's two drivers
7 with it. They drive five on and five off straight through.
8 They stop for meals. One goes in and gets the meal. The
9 other one watches the shipment. Like I say, one time they
10 fail to keep surveillance of it and the penalty is
11 termination.

12 I mentioned replacement of tractors. What we have
13 --in fact, we just mounted it yesterday right behind this and
14 it's from the firm QUALCOM in San Diego that provides this
15 service to Oak Ridge--is a magnetic base antenna. We've taken
16 the globe antenna and put it on the magnetic version. Let me
17 back up here a second. On the opposite, I believe, in there
18 is the black box. They have a keyboard and we've re-wired
19 that, so that basically there's, I think, four bolts in the
20 black box they can disconnect. They have a cigarette lighter
21 adapter. They'll be able to pull off the magnetic mount and
22 change that from one vehicle to another and they estimate now
23 they could probably do it in about 15 minutes. So, tracking
24 capability isn't lost. On our previous version, it would take
25 four to five hours and you'd better be in the shop to do it

1 because it was basically hard wired in there.

2 DR. CARTER: My question really related to the fact that
3 you're now tracking the trailer itself, rather than the
4 payload. The truck, itself?

5 MR. WARD: To give you an idea of the accuracy of the
6 system, those of you familiar with Albuquerque would recognize
7 that that little icon at W-2 is about two blocks west of I-25
8 and two blocks south of Montgomery. That happens to put you
9 on Candelaria. That just happens to put you at the Freight-
10 liner store. The accuracy is within 500 feet or less. People
11 say 1,000, but from what I've seen, it's actually less. This
12 is hard to see, but these two tractors were parked 10 feet
13 apart at the WIPP site. With LORAN-C, if those tractors were
14 parked there, we would find one icon up over here halfway
15 between Hobbs out in the middle of the desert. With LORAN-C
16 also when they start off sometimes, you'd find an icon way up
17 there in the left hand side on the way to Cloudcroft, 80 miles
18 away. It's induced by the population density of the LORAN-C
19 towers. They're more dense in the coast, they're less dense
20 here. This is a lot more accurate.

21 DR. PRICE: The LORAN-C on your dry runs, you use LORAN-C
22 set up?

23 MR. WARD: Yes. We changed to this about, I believe,
24 four months ago. QUALCOM came out, offered the service, we
25 were the first within the DOE sensitive shipments to modify

1 and upgrade to the dual satellite and we're exceptionally
2 pleased with it.

3 DR. CARTER: On the LORAN-C, did you suffer mid-continent
4 loss and have lock on problems and so forth?

5 MR. WARD: In Wyoming, west of Cheyenne Rubber, I
6 believe, we had occasion where it would only get readings from
7 two towers. It needs at least three, I believe, preferably
8 eight. And, it flat locked up and you totally lost your
9 tracking capability. I wouldn't even consider a LORAN-C in
10 the future.

11 I mentioned the trailer crack. Here's the crack in
12 the cross member. I'd like you to note that the top of this
13 cross member is rolled, the bottom is flat. It's been
14 replaced by a cross member which is rolled here and rolled
15 there, giving added strength. It's also got new gusset
16 material there. It's hard to see, but you can see the change
17 in the dual role in that crack up there.

18 DR. PRICE: Where is that cross member on the--

19 MR. WARD: That's behind the last TRUPACT.

20 DR. PRICE: Is it, do you think, stressed because of the
21 spread axle design or--

22 MR. WARD: I believe it's just flexing of the shipment
23 itself. I don't believe there's any trailer made that isn't
24 going to develop a crack similar to that in some places at
25 some time over a period of time. The question is to find them

1 and fix them. Hopefully, this will make the time period
2 extend out, but if you were to pull a trailer that's had
3 several thousand miles--you know, 100,000 miles experience
4 over in an inspection, you'd probably find something similar
5 to this. Robert and Mark went through the CVSA vehicle
6 inspection course in Oregon and were amazed what they found
7 was rolling on the streets. We think our inspection program
8 will, I'd almost say, totally preclude this. It's just
9 checked too frequently and too detailed.

10 We mentioned routes. One thing that has changed,
11 regardless of what route New Mexico ends up designating, you
12 end up having a designated route within 13 miles of the WIPP
13 site. That gets you to the closest point. My reason for
14 showing this slide is I-20 along the south from Savannah River
15 totally comes out, you go up north to I-40, and on over.

16 You asked about driver requirements. I'd like to
17 expand upon this. Again, we didn't want to create some super
18 hero. We asked for the basic DOT requirements. We did put
19 these three little caveats on there. 100,000 miles for a
20 tractor/trailer combination is next to nothing. You can do
21 that in one year easily. The two years uninterrupted service
22 was basically designed to allow the driver who had been laid
23 off, but still was a conscientious citizen and a hard worker,
24 to be able to have an opportunity to be hired.

25 Dawn came back with these provisions; no moving

1 violations the past three years, the road test, road
2 screening, the driver profile evaluation. They've also
3 entered credit check and now the peer review program and the
4 Commercial Vehicle Safety Alliance inspection class.

5 The penalties, as you see, are quite severe. Those
6 penalties for moving violations or chargeable accidents apply
7 not only in the WIPP transport vehicle, but also applies in
8 their privately owned vehicle. I'd like to point out that to
9 assist them with their speed control, the speedometers in the
10 tractors are calibrated. They do have a certificate of
11 calibration. The cruise control cannot be set beyond 63 and
12 the fuel pump cuts out at 65. So, unless it's a steep hill,
13 it's almost impossible for them to accelerate--well, it is
14 impossible for them to accelerate by intent beyond that.

15 After we had those requirements, the DOE came to me
16 and said what can we do to make the drivers still a little bit
17 better? What we did was we talked with the Transportation
18 Safeguard Academy who trains basically, as I understand it,
19 special forces in the police force to be tractor drivers for
20 their weapon shipments, to be couriers. They give us a--
21 basically, it's a two week course because we already have
22 trained drivers. I think it's important to note that the
23 drivers' response to that, what they learned most was safety
24 and attitude. We use our fleet unit, the roads that are
25 mentioned, those particular subjects. We do carry radiation

1 detection instruments. The drivers are trained in their use.
2 They are re-certified annually.

3 And, this is our latest institution. What you see
4 there on the right is the president of the company, on your
5 left, you'll see their QA safety individual, and the three
6 drivers we have now. We have two more in the hiring process.
7 I think you'll find it's the only trucking company in the
8 nation there that has pacts with those that has a CVSA
9 certified. They're quite proud of that. What that means is,
10 is they drive down the road, especially in the State of
11 Oregon, when they pull over for an inspection, it's very
12 possible that one of the inspectors there could be one of
13 their classmates. And, also out of the five people that Dawn
14 sent to that course, four of them were in the top five. The
15 fellow that beat them out was a retrainee who was going back
16 for refresher. So, it's a two week course. They all have
17 these certificates. It's not necessarily a gentleman's
18 course. Here's Mark under there. What they do is they have a
19 week of classroom training and the second week, they go on
20 opposite sides, split up into teams, and as a vehicle comes in
21 they pull it off at random and go through a vehicle
22 inspection. It's rather detailed.

23 In response to state concerns--also interesting
24 enough, it's spelled out in the new reauthorization of the
25 Hazardous Material Transportation Act--we've added

1 reflectorized placards. I'd like to point out that that's the
2 only thing in the shipment that glows.

3 (Whereupon, the slide presentation was concluded.)

4 As far as a recovery guide, pass those out please.
5 I have here a copy of our recovery guide we developed in
6 response to our concerns, as well as state concerns, about how
7 to recover a TRUPACT. The intent of this is to have it
8 implemented by basically anyone the on scene commander, be it
9 state or otherwise, designates. There are copies of this
10 carried in each tractor. Unique to this recovery operation
11 are stainless steel lifting lugs. The truck carries 13 of
12 those. They also carry 12 pounds of stainless steel welding
13 rod. The intent is the lifting lugs and the welding rod are
14 the things you will not be able to find at 2:00 o'clock in the
15 morning. You can find a crane company in the Yellow Pages,
16 you can find welders, you can find flatbed trailers,
17 everything else. This central monitoring room at WIPP also
18 has the capability of faxing this to any location. There's a
19 copy currently in each of the emergency operations centers.
20 This plan does address the use of what I call lifting lugs.

21 Separately, I passed out a single sheet. What we're
22 looking for here is if something is wrong with the trailer,
23 but the TRUPACTs aren't damaged, how do you move it, say, from
24 one trailer to another TRUPACT trailer? This is designed to
25 enable us to lift it with a crane without trying to find the

1 world's biggest forklift, safely onto another shipment. It's
2 a strap that we call an alignment strap. It allows us to use
3 a crane provided by a commercial source, their slings to go
4 underneath it, and not have a massive piece of equipment pre-
5 positioned somewhere and worry about the maintenance of that
6 piece of equipment, as well as getting to the accident scene.
7 This item is on procurement now and will be tested shortly.

8 DR. PRICE: If the container is damaged, do you have
9 criteria for assessment regarding the integrity of the
10 container and people skilled in making such field assessments
11 before you then attempt to move it?

12 MR. WARD: If you look at Attachment 1 to that enclosure,
13 there's guidance furnished by the DOT and what the criteria is
14 to safely move it. Separately, WIPP is developing sort of an
15 emergency response team, a tractor/trailer expert, Phil
16 Gregory, to be dispatched to the scene. So, the answer is
17 yes.

18 DR. PRICE: As I think you probably know that this is the
19 recovery in spent fuel area, the cask weighing considerably
20 more, maybe even 100 tons, is an issue.

21 MR. WARD: Yes.

22 DR. PRICE: And, if there are lessons to be learned from
23 this to pass on, we'd sure be interested.

24 MR. WARD: One of the quickest lessons I think to be
25 learned is you'll find on, I think, it's one of the first

1 three pages on the top, there is an association of--I forget
2 what it is--but, to make a long story short, its rigors or
3 what have you. But, the question comes up in the United
4 States today you cannot find a magic list of train companies,
5 record companies, and their capabilities. If they choose to
6 belong to a professional organization, you can identify where
7 they are. You still have to contact them to find out what
8 their capabilities are. It may be prudent, once you've found
9 these and you've identified your routes, to contact each one
10 and develop a list of those with cranes in excess of 100 ton
11 capacity.

12 What I'd like to do now is I have a short video.
13 Could someone kill the slide projector for me, please?

14 (Whereupon, a brief video was shown accompanied by
15 Mr. Ward's commentary.)

16 MR. WARD: This has no sound. What you see at first
17 is the lifting lugs being welded onto a TRUPACT. People ask
18 me and it's sort of amusing about the qualifications of the
19 welder welding these on. He happens to be the one that taught
20 the welders how to make TRUPACTs. So, I think he's probably
21 overly-qualified. It takes approximately 30 minutes to weld
22 each one of these on. Basically, he centers them at a third
23 of the way around. He tacks them in place. He'll run one
24 bead on one side and then he may switch to another one. The
25 heat buildup is not a concern. You'll find in one of these,

1 he puts on a lower one. There is a little plug on the side,
2 no smoke came out. It doesn't damage the TRUPACT. I'd like
3 to point out that when you weld these on, the intent is to get
4 the package off the street. You're not worried about
5 maintaining the certifiability of the package. You're trying
6 to resolve the accident situation. You can address whether
7 the package will be re-used later or not.

8 As you go through here and through the recovery
9 guide, you'll note that it's significant that these cannot be
10 used as tie-downs. If they were used as tie-downs or attached
11 to a Type B package, they must meet NRC requirements. Okay?
12 The tie-downs on the TRUPACT when you see it outside, the part
13 that's not part of the TRUPACT itself meets DOT. Basically,
14 NRC says it has to hold the package down within 10 times the
15 forward weight, five times the lateral, and two times the
16 vertical. Department of Transportation says the aggregate
17 total of the tie-downs must be time and a half times the
18 payload. So, if you were to use any of these for a tie-down,
19 they have to meet NRC requirements which they don't.
20 Therefore, to preclude the need for a special bra or something
21 to go across the top of the package and tie it down in a
22 vertical position, in this particular case, unless we're able
23 to put it on a replacement TRUPACT-II trailer, it's always
24 transported in the horizontal position. The separate reason
25 is if you happen to get a standard flatbed, as opposed to a

1 lowboy, and put it up on top vertically, you're over height.

2 So, you're illegal.

3 What you see here is a--well, the two lugs on here.

4 It's a rather simple demonstration. This does weigh 19,250

5 pounds. It is filled with sand. They're just going to pick

6 it up and swing it around and load it on a flatbed trailer.

7 The changes you'll see to this in the future, I think in June

8 or July, the DOT has changed its rating of tie-down slings.

9 So, instead of three straps being placed across this, you'll

10 see four. And, as soon as we have an opportunity to test the

11 single page lifting method I've shown there, that will be

12 incorporated in the plan. This happens to be a 60 ton crane.

13 The operator had been doing this all his life. It was an

14 extremely easy proposition. If you look closely, you may see

15 some lugs on the top of the TRUPACT. There's one here, I

16 believe, and one there. They don't apply to the demonstra-

17 tion. They were put there because when we do a demonstration

18 like this, it's for demonstration purposes. We have to put it

19 on a trailer, take it out to the accident scene, we have to

20 take it off, we have to tip it over. Then, we pick it up and

21 put it on a trailer, do a demonstration. After you're through

22 with your demonstration, you've got to take it back off the

23 trailer, stand it back up, put it on your trailer, and take it

24 home.

25 One thing I forgot to mention about human factors on

1 this. On the tractor, the next time just take a look at it or
2 when you see it outside, please notice we have two stacks. We
3 tried to add all the creature comforts, but drivers, being
4 some of them macho, I guess, wanted the first tractor that
5 came with one stack. And, that wasn't quite good enough and
6 hurt the appearance of it. So, we swapped the link tight
7 chains we had for wire chains and saved enough weight to put
8 two stacks on it.

9 We tested this procedure one time in-house using our
10 own crane. Then, we hired Sullivan Crane Company, chosen at
11 random from Hobbs, did this demonstration, and then having
12 successfully done that, we invited the Western Governors, as
13 well as representatives from the DOE regional response areas,
14 to come down and watch the demonstration so they would be
15 aware of procedures and how this was done. And, he drives off
16 into the sunset.

17 (Whereupon, the video presentation was concluded.)

18 MR. WARD: Again, the only thing that we provide is
19 the stainless steel lifting loads--perhaps, Robert will drag
20 one out from the tractor to show you--and the welding rod.
21 Everything else, we believe we can find locally. There is
22 also--I mentioned crane companies. There is a national
23 directory of records.

24 Can I answer any questions before we take a break
25 and go out and look at the truck?

1 DR. PRICE: One incident in the past involved a
2 radioactive container. Evidently, the trucker was making a
3 turn and the trailer bed flexed, as I recall, and the unit
4 turned over. And, I understand from what I read anyway that
5 he was going relatively slow when he made the corner and it
6 was just a problem with the design. And, what have you done
7 to insure that these kinds of problems will not exist in the
8 tractor/trailer union and the trailer container union that
9 you're going to use?

10 MR. WARD: Phil, maybe you can help me on this, but I
11 think one of the things that was done on this, I mentioned the
12 trailer test that we did. We took the three trailers and we
13 had a test track up in Washington State. We had pylons set up
14 and we did a obstacle course basically, if you will. We
15 videoed behind it. We had the packages instrumented and we
16 found what limits we had. Basically, they were safe. I think
17 the test was conducted at 55. In our particular case, we were
18 allowed to go 65 on the interstate. That is straight travel.
19 They tested the various things, on/off ramps. It was well
20 instrumented. The split axle air rod proved to be the safest
21 means of transportation or safest configuration.

22 Along the same lines, the trailers, as a result of
23 that Transportation Safeguard Academy course, we chopped off
24 the trailer disconnect handle so you couldn't casually go up
25 there and yank it and the driver drive away and drop it. We

1 had locking fuel caps, power door locks, and power windows for
2 the driver's side and external mounted fire extinguishers.
3 But, the drivers having used it, I think, are exceptionally
4 pleased with both the tractor and that trailer, as opposed to
5 the tandem axle trailer.

6 DR. PRICE: How fast, for example, could the driver take
7 a right turn, a 90 degree turn, on a flat surface?

8 MR. WARD: I don't have a magic answer for that. I don't
9 think that was part of the test.

10 MR. GREGORY: It would depend upon how sharp the turn
11 was. Specifically, to the incident that you referred to, that
12 trailer had been inspected and a failure of the frame
13 discovered prior to the incident that occurred. I believe
14 that an inspection and a discovery occurred in the southeast
15 portion of the country. The manufacturer was contacted,
16 repairs were described, and drawings sent, and repairs were
17 made not according to the manufacturer's recommendations. The
18 welds were not done according to the manufacturer's specifi-
19 cation and no adequate inspection was done after the repair
20 was made. The failure was later determined to be a buckling
21 of the main structural member of the frame due to the improper
22 welding of this gusset that had been added.

23 The trailers that we have were specifically designed
24 for the TRUPACT load distribution and you'll notice that the
25 tie-down configuration is attached to coincide with where the

1 TRUPACT package is set up. We've put in excess of 100,000
2 miles on these trailers now, both in a loaded and an empty
3 condition, and we, I think, can say that without exception we
4 can travel posted speeds, negotiate turns at posted speeds,
5 whether it be an off-ramp or an on-ramp or a city corner and
6 we've experienced no problems, whatsoever. So, from that
7 standpoint, we feel very comfortable. There is also an ANSI
8 standard that's in draft. That standard, as it has been
9 prepared, has been reviewed at each step by the designer of
10 the trailer that we use and they have concluded at each step
11 this trailer will meet that standard in its draft form.

12 DR. PRICE: With the spread between the two rear axles
13 being as great as it is, what are the implications of that
14 that you've found?

15 MR. GREGORY: The reason for the spread is to allow you
16 to distribute the load over a wider section of the beam. This
17 allows a lighter weight trailer than would otherwise be
18 possible for the same load. It also has the effect of adding
19 stiffness in a crosswind or--because you spread the load over
20 a greater distance.

21 DR. PRICE: But, there are penalties associated with that
22 spread?

23 MR. GREGORY: The penalty that most frequently comes up
24 with that is an increase in tire wear of the front axle. And,
25 experience that we have been able to glean from other people

1 using spread axle trailers, particularly on the west coast, is
2 that your front axle tires on the trailer wear out about 20%
3 faster than the rear axle tires. That's because when they
4 make a corner, they're being drug sideways. They very quickly
5 scuff off a rounded corner. After that, it does not seem to
6 be a problem. So, if the 20% penalty entire life is something
7 you're willing to accept as a tradeoff, it seems to be a very
8 good one. Other than that, we're not aware of any
9 difficulties with the spread axle.

10 DR. PRICE: You don't think that there's any penalty with
11 respect to stress on the frame, itself?

12 MR. GREGORY: No.

13 DR. PRICE: Because if you're dragging those tires across
14 the pavement to scuff them off and so forth in turns, it would
15 seem like that also must be associated with stress to the
16 frame.

17 MR. GREGORY: This is one of the things that we're
18 looking at to verify. If this trailer were being used in an
19 urban or a city type of a environment where you were doing a
20 lot of turns, that would probably not be the trailer of
21 choice. But, in a case like ours, 99% plus of the miles are a
22 straight line down the interstate kind of miles. And, you
23 find that the negotiation of turns is done only at the origin
24 and the destination. So, there are very, very few turns given
25 the total number of miles traveled.

1 DR. PRICE: Um-hum. Well, the first thing that came to
2 my mind with the cross member cracking was whether or not that
3 might be associated with that axle design.

4 MR. GREGORY: I'd like to address that cross member, if I
5 could. There was a team of people from Sandia National Labs
6 and the Department of Energy that came to Carlsbad about a
7 year ago and looked at this cross member and their conclusion
8 was that there were two possible reasons for the failure. One
9 was a torsion. The location of the crack and the way the
10 crack propagated indicated that it was possibly a torsional
11 failure. The other possibility was a high speed vibration.
12 Structural analysis for static conditions indicate that it's
13 adequate to carry the load. And, it's not really easy to
14 model the dynamics of a trailer going down the highway.

15 The solution to either of those problems was to
16 increase the section modulus of the cross member and to move
17 the edge where the crack initiated closer to the neutral axis
18 of the beam to reduce the stress. By redesigning the cross
19 member beam to bring that flat edge up closer to the neutral
20 axis, they accomplished both of those goals. Additionally,
21 there was an air valve mounted on the cross member which may
22 have contributed to the vibration. That air valve was moved
23 to another location. The gussets were lengthened to spread
24 the load closer to the center of the member and with these
25 three things done based on the engineering judgment of the

1 people who designed the trailer, this will solve the problem.
2 If you ask why didn't they do it that way in the first place,
3 it adds weight and in the trailer business you're always
4 fighting this problem of strong enough, light enough, and
5 there's a continual battle between strength and weight. If
6 you built a trailer that never cracked, it probably wouldn't
7 have much payload. So, that's always a battle going on with
8 the trailer design that we have in this country.

9 DR. CARTER: One, I have a request and then I have a
10 question. The request is, I guess, there was one or two of
11 your viewgraphs that we did not have hard copies of. Because
12 we did not have hard copies of your slides, I wonder if you
13 could provide those for us?

14 MR. WARD: Sure.

15 DR. CARTER: The other question, you mentioned when you
16 began quite a bit about the carrier that was selected for the
17 TRUPACTs and the transportation involved in WIPP. I just
18 wonder if you would run through a little bit the background
19 and experience of this contractor and related sorts of things?
20 You know, I've heard of Hitman and Superior and TriStates and
21 a lot of carriers, but I guess I've never heard of the one
22 that finally got selected. So, I was curious.

23 MR. WARD: Well, I'm trying to stretch my institutional
24 memory now. I looked at this about four years ago. I
25 believe, they had a mill tailings program in Colorado which

1 they did successfully. Their primary role has been in moving
2 oil rigs and water trucks. They were competing against, if
3 you will, arrangements with TriStates, Hitman, Chem Nuclear.
4 It was a factor, as I recall. I think about five different
5 areas that were looked at and went through the proposed--on
6 the positive side was the proposed equipment, the quality of
7 the drivers. The other people didn't come up with as
8 stringent penalties and controls as these people did. I think
9 the rates were relatively competitive and proposed supervision
10 and management of their drivers, as well as the criteria they
11 set for the drivers. And, our philosophy was at the time, I
12 believe, that it's where the rubber meets the road where it
13 reaches the final safety criteria. I was a tech advisor. I
14 was not in on the final selection process. That was all DOE.

15 DR. PRICE: Were they the low bidder?

16 MR. WARD: I don't believe they were. I think they were
17 about second. And then, after it was initially presented as a
18 per mile basis and then we realized the uncertainty of the
19 actual opening date and the question is how can you get the
20 carrier to go out and get this equipment--they're leased, it's
21 about \$1200 and some odd a month, the drivers have a
22 guaranteed salary. They're paid by the hour or mile when not
23 driving. How do you get that equipment, those drivers here
24 ready to use, and we use them on our road shows, like the
25 prints you're bringing up right here now, and keep them there

1 and not having them used in some other shipment or mission, so
2 that the carrier can make money on this. So, let's change to
3 a cost plus basis.

4 DR. CARTER: Essentially, the answer to my question was
5 they did have experience with some of these other companies
6 that are fairly well known. They also had some with moving, I
7 presume, low specific activity materials of the uranium
8 business, whether this is uranium ores or tailings itself or
9 yellow cake or whatever?

10 MR. WARD: Yeah. I think if you take that--and, I missed
11 a couple and I'll make my point in a second. What I didn't
12 tell you about was they do a driver profile evaluation to make
13 sure they're suitable for the job, compatible for the driver
14 they're going to drive with. I didn't mention they have
15 radiation worker training, use of dosimeters, they're taught
16 separate emergency response training. We give them public
17 affairs training. They get special training on our tie-downs.
18 I mentioned the use of radiation detection instruments. They
19 have special training they have to go through on the tracking
20 system itself, their own company safety program. We give them
21 a special course in transuranic waste characteristics, as well
22 as the mobile phone. And, I think if you would take basically
23 this list of qualifications, I don't think there's another
24 company in the U.S. who will match those.

25 DR. CARTER: You sound to me like you've covered

1 everything except Arthur Murray.

2 MR. WARD: Well, that sort of gives you--we just thought
3 it would give the civilian program a good starting point.

4 If there's no further questions, the truck is parked
5 out on the north side. You're welcome to come take a look at
6 it. We're quite proud of it and I think the drivers are quite
7 proud of it. And, we're quite proud of our drivers and what
8 they've done, so far. What you see on there is what we call
9 the road show models, the same general shape. One of them has
10 a cutaway. We expanded the cutaway to include a cutaway
11 barrel so you can see the type cargo it would contain. It
12 shows you the foam and the construction of it. The unit on
13 the front, I suppose, is a little bit heavy at first. It
14 happens to be our recovery unit so you can see how the lugs
15 are attached on there for recovery. And, we'll be out there
16 to answer any questions you may have.

17 How long a break do you want to take? We're a
18 little bit--just a few minutes early.

19 DR. PRICE: I think if we plan to be back in here by
20 11:00 o'clock, that would be all right. Is that enough time?

21 MR. WARD: 11:00 o'clock, did everybody hear that?

22 (Off the record.)

23 (Whereupon, the panel was given a presentation by
24 Tom Ward of the TRUPACT road show. The following are excerpts
25 for the record from Mr. Ward's presentation.)

1 MR. WARD: Okay. We started off with an 80,000 pound
2 weight configuration, backed out 18,000 pounds for the
3 tractor. That left 62,000 pounds for the trailer. What you
4 see here is a split axle air ride trailer. This was compared
5 against a closed axle air ride trailer and a closed axle
6 spring ride trailer.

7 The question has arisen about the tie-downs. The
8 tie-down configuration that the u-bolts go over are part of
9 the Type B package. Therefore, they must meet NRC require-
10 ments which require a capacity weight factor of 10 times the
11 forward direction and five times the lateral and two times the
12 vertical. The DOT regulation says the aggregate total of the
13 tie-downs has to equate to one and a half the expected load.
14 It does not differentiate between the type of the load. The
15 trailer you see weighs about 9860 pounds. We have 17 of
16 these. They've all been weighed and are within about 40
17 pounds of each other.

18 You also see we've modified the placards. Rather
19 than have the standard book, we have a special book. The one
20 says "drive safely" and you flip that down and you'll see a
21 Radiation 7. And, if you'll note, there's a little lever at
22 the top of the placard holder. If you have a highway route
23 control placard which happens to be square, what you do is
24 open that little lever, flip it over, and behind that is the
25 highway route control placard. Therefore, they don't have to

1 take the placards on and off. They're always with a
2 particular tractor.

3 The tractor is a 1989 Freightliner. It has 440
4 horsepower. It has an 18-speed Road Ranger transmission. It
5 does not have a tagalong axle. We can engage the second axle
6 to get eight tire drive, if you will, in the case of an
7 emergency.

8 Let's see, what else do you want?

9 DR. PRICE: This is Dennis Price. Just to point out what
10 Tom Ward was saying, there are two sets of requirements that
11 are met in the tie-down interface. One is the NRC require-
12 ments which have to do with the attachment plate to the
13 container and the other is the DOT requirement which has to do
14 with the u-bolt that fastens the trailer to the attachment
15 plate. Is that correct?

16 MR. WARD: That's correct.

17 DR. PRICE: And, those two sets of requirements are
18 different. The weakest requirement in terms of strength is
19 the DOT requirement.

20 MR. WARD: I think part of that design was influenced by
21 the fact that--and, I'm not positive of this--that it was felt
22 that it would be better if the container were to break away
23 than all stay in the trailer and have, you know, potentially
24 three containers permanently fixed to the trailer, if you
25 will, involved in an accident and the potential of any damage

1 that might cause.

2 DR. PRICE: Um-hum.

3 MR. WARD: Okay. Repeating that, the intent was to have
4 a capability by default to break away from the trailer rather
5 than having the containers almost permanently attached to the
6 trailer and the resulting damage that a 62,000 payload could
7 possibly do.

8 You'll note that the trailers are all numbered on
9 the goose neck and in the rear placard holder is where the
10 certificate of origin is maintained, as well as the vehicle
11 inspection record. The intent there is so that can be checked
12 out prior to loading empties to make sure they're loading them
13 in a serviceable vehicle. You'll also note that each trailer
14 is equipped with a hubodometer to record its usage and detect
15 any--if you have a maintenance problem, you can check the
16 mileage at which it occurred. It's also used as the basis for
17 establishing your maintenance criteria for periodic service
18 based on either time or mileage.

19 This trailer is not equipped with automatic slack
20 adjusters. In the future for the civilian waste program, I
21 think I would recommend the use of automatic slack adjusters.
22 This is not to say that they're maintenance-free. It just
23 helps them keep an adjustment. Another consideration is the
24 industry now has the anti-lock brakes. The civilian waste
25 program may want to pursue having their tractors and trailers

1 equipped with an anti-locking braking system.

2 For exploratory reasons or ideas, the civilian waste
3 program may wish to explore, I think it's called, a Red Arrow
4 anti-jackknife device. Basically, it involves a mechanical
5 constraint which can be controlled from inside the cab. It
6 limits the amount of travel the trailer can have in basically
7 bypassing the trailer in the event of an accident. This can
8 be released for tight mountain passes or turns or what have
9 you. Okay?

10 DR. PRICE: Okay. I was just commenting to him on the
11 low road clearance that you have here.

12 MR. WARD: Road clearance for us is a problem. There is
13 --I say a problem. I think there's one location. It happens
14 to be east of Roswell on a bypass, it's the Roswell bypass,
15 but you go over a railroad crossing which goes up rather steep
16 and I think empty we clear it by about that much.

17 DR. PRICE: Um-hum.

18 MR. WARD: So, you'd have to travel your roads to make
19 sure you can clear it.

20 DR. ELLIS VERINK: What would the consequence be if you
21 had a leak in one of these?

22 MR. WARD: A leak in one of those, it would collapse and
23 have to be replaced.

24 DR. VERINK: It looks like it may be pitting. Is there
25 some problem potential for corrosion on the outside?

1 MR. WARD: I would assume that would be correct, you
2 know, with the salt. So, that would be maintained.

3 DR. VERINK: It looks like that ought to be looked at.

4 MR. WARD: One other thing I'd like to point out is the
5 carrier is prevented by contract from doing anything other
6 than normal maintenance. I mean, they can replace components.
7 They can't modify the design.

8 MR. VERINK: It seems to me that's something that
9 somebody ought to take a look at. It needs a protective
10 coating over it or--

11 MR. WARD: Okay. You should look at the method of
12 placarding. The new Transportation Safety Act requests you to
13 look at the possibility of increasing the visibility of
14 placards. We chose to make our reflectorized. They were
15 custom made. We have specially designed holders. So, it
16 allows you to have just the "drive safely", the Radioactive 7,
17 or you reverse the whole paddle, if you will, to have the
18 highway route control placard on. They're permanently fixed.
19 That avoids having the drivers having to carry them in their
20 cab.

21 There is a torque requirement. The torque
22 requirement is met. There are six Bellview washers in here.
23 A Bellview washer is a washer that's bent. Two are put in
24 this way (indicating), the next two are stacked this way, the
25 next two are stacked that way, and you torque them down. You

1 can do it without a torque wrench. You have a feeler gauge.
2 It's a go/no-go gauge. You put it in this crack. So, when
3 they go by, they can actually check all those in a minute and
4 a half just by going up and sticking in one end and flipping
5 around the other end.

6 DR. PRICE: And, this is a vibration type lug?

7 MR. WARD: Yeah, that's a captive type nut.

8 The alternate method we have and this is recommended
9 by Oak Ridge. What I'm holding is something called a click
10 stud. It's a plastic mounted stud. It has epoxy in here. It
11 has a cleaner or a cleanser. You got up to your Hertz or
12 Ryder truck. You figure out where this aluminum plate has to
13 go. You clean off the area, mix up this epoxy. It sets up in
14 15 or 20 minutes. It supposedly holds on there with a 1500
15 foot pounds of holding force. You go on your way. When
16 you're through, you un-do the nut, touch it with a soldering
17 iron and heat it to 300 or 400 degrees, and it lifts off. So,
18 our new constraint for transferring the tracking system is
19 waiting for this to cure, but that's only 15 or 20 minutes.
20 And, each truck carries six of these.

21 (Whereupon, the presentation of the road show was
22 concluded.)

23 (Off the record.)

24 DR. PRICE: Okay. Let's get started again.

25 MR. GREGORY: Members of the Review Board and the

1 audience, it's a pleasure for me to be here today to tell you
2 about the TRUPACT-II program and, in particular, to give you
3 an engineering perspective of those things that we have
4 learned that might be applicable to the program that you're
5 looking at.

6 I'd like to address six areas from a engineering
7 perspective being the design of the packaging itself, the
8 tests that one might do, specifically how one certifies a
9 package like this, the fabrication, the safety aspects of all
10 of these things--safety really covers or overlaps everything
11 --and then, the operations and the maintenance.

12 I think that those people who are in the business of
13 designing packagings for transporting radioactive materials
14 will agree with these four points, but they're worth
15 repeating. The use of codes and standards allows the NRC to
16 do their review against a quantifiable reference. But, when
17 you deviate from the use of codes and standards, you now put
18 it into the hands of the reviewer to determine whether or not
19 you have met an adequate criteria, whereas the use of a code
20 or a standard establishes that criteria. So, this can be as
21 simple as selecting codes like the ASME boiler and pressure
22 vessel code. Section 3 deals with the part of the code that
23 TRUPACT-II was designed to.

24 Use of accepted materials, specifying materials like
25 ASTM grade steels, as opposed to a steel that doesn't have the

1 ASTM designation behind it. In some cases, it's not possible
2 to use a standard material. An example of this in the case of
3 TRUPACT is the foam. This is a foam that does not have a
4 "standard" that it meets. However, the fabricator or the
5 manufacturer of the foam has developed the data and presented
6 that to the NRC which essentially gives the foam the credi-
7 bility that a standard would carry.

8 A conservative design is easier on the reviewer. If
9 one does an analysis of a beam and finds that the safety
10 factor of that beam is 10 to 1, the review process is fairly
11 short. If one reviews a beam that has a design safety factor
12 of 2 to 1, you're going to be a lot more concerned with how
13 carefully you looked at that analysis and how carefully all of
14 the details have been addressed. So, conservatism in the
15 design is very important, are relative to the difficulty of
16 the review process.

17 The last point is one that TRUPACT broke a lot of
18 new ground and this has to do with new concepts. We were
19 advised that the NRC would never certify a package that did
20 not have a bolted closure mechanism. They had never done it
21 in the past and they wouldn't start now. Initial discussions
22 with the NRC relative to the closure mechanism indicated that
23 they were receptive to a different type of design if there was
24 a good technical reason for it. A number of presentations
25 were made and this led to scale model testing which I'd like

1 to talk about next.

2 Some of the reasons that you find yourself in a test
3 program are listed here, the non-standard materials. If you
4 want to use a material like a new foam for an impact limiter,
5 you would probably do some scale model bench testing or some
6 prototype testing to validate the impact properties of the
7 foam. You might do some stress-strain curves using a
8 compression machine and measure stress and rebound of that
9 foam.

10 In our case, we got into a rather unconventional
11 design for Type B packaging in that we used a rotating locking
12 ring to attach the lid to the body, rather than a more
13 conventional bolts with a gasket. The rotating locking ring
14 is similar in design to the lid of a pressure cooker except
15 the lid doesn't move, just the ring. The closest thing I know
16 to it is the camera lens mount for a Canon 35mm camera where
17 the lens plugs into a hole and a ring rotates the lock. So,
18 it's a bayonet with a lock.

19 This concerned the NRC because they weren't familiar
20 with it and they asked us--when I say us, actually it was
21 nuclear packaging, but there was a team approach to this
22 entire project. They asked that a sub-scale model be built.
23 The scale model that was built was about two feet in diameter,
24 consisted of two o-rings and a locking mechanism. That was
25 deformed 25% of its diameter without loss of a vacuum. Based

1 on that, the NRC said, well, maybe it will work. Why don't
2 you build a full-scale model? So, a full-scale locking
3 mechanism was built. That was tested at the University of
4 Washington. That was deformed about a foot without loss of
5 vacuum. At that point, they said we think maybe this will
6 work. Why don't you build a full-scale test article, the
7 whole TRUPACT, and test it? So, by doing testing of sub-scale
8 and larger and larger pieces, the NRC gradually got
9 comfortable with the concept of a locking ring.

10 Another reason that one gets into testing is an
11 inability to analyze for both the normal and hypothetical
12 accident conditions. The TRUPACT-II is a Type B packaging, as
13 the OCRWM package will be a Type B packaging, I understand.
14 And, for Type B packaging, the NRC is really concerned about
15 three safety aspects; sub-criticality, shielding, and contain-
16 ment. In our case, only containment was a concern because the
17 payload does not contain sufficient radiation to require
18 shielding and the amount of fissile material is limited to a
19 quantity that will always remain sub-critical, regardless of
20 the configuration or the moderation. So, our concern became
21 one of containment. The package design itself is a soft
22 yielding package. It's basically quarter-inch stainless steel
23 with a foam sandwich construction.

24 And, you'll notice here that the outer protective
25 skin on the right hand side is quarter-inch or three-eighths

1 stainless depending on where the section is located, ten
2 inches of foam, a layer of ceramic paper called lytherm that's
3 between the foam. So, you have a five part composite
4 sandwich. That makes up the outer containment vessel. The
5 inner containment vessel is a quarter-inch stainless steel
6 pressure vessel inside.

7 It's not possible to do a dynamic analysis for the
8 hypothetical accident conditions and predict with great
9 accuracy what the deformation will be. For this reason and
10 this reason only, we went to full-scale testing. It's much
11 preferable to do an analysis and establish a safety factor
12 because when you do a test your safety factor is 1. It's a
13 go/no-go test, you passed or you didn't.

14 DR. PRICE: Could you provide us that slide? It wasn't
15 in your pack, I don't believe.

16 MR. GREGORY: Yes, I can.

17 DR. PRICE: I'd like to have that.

18 DR. VERINK: What is the foam material?

19 MR. GREGORY: It's a polyurethane type of foam. It's a
20 proprietary compound that has the ability to act as a shock
21 absorber and an insulator.

22 DR. VERINK: The foaming agent is what, a fluorocarbon of
23 some sort?

24 MR. GREGORY: I don't know the answer to that. I can
25 find out for you.

1 DR. VERINK: I'd be interested to know that.

2 MR. GREGORY: I can find out. I don't know. I may not
3 be able to find out because it is a proprietary formula and
4 they will not let anyone present when the foaming process is
5 taking place.

6 The thing that makes this foam unique is that in the
7 fire or the thermal test it has the ability to form a char as
8 it burns. That char then seals and insulates the foam behind
9 the char so that it self-extinguishes if the source of a flame
10 is removed. So, you could expose a large block of this foam
11 to a fire and it will burn while it's in the fire. As soon as
12 you remove the flame or the flame burns out, the foam self-
13 extinguishes, regardless of how large an area you have
14 exposed.

15 So, in the design of the package, being soft and
16 being deformable, we actually punched holes in the upper
17 sections and the lower sections of the outer protective
18 structure. Those have no detrimental effect in the fire or
19 the ability to survive other drops or punctures. So, the
20 inability to do an analysis is what drove us to the need to do
21 full-scale testing.

22 DR. PRICE: By the way, do you happen to know what the
23 ignition temperature of the foam is?

24 MR. GREGORY: No, sir, I don't, but I'll try to find out.

25 DR. CARTER: Did you consider, at all, compression in

1 terms of criteria of the TRUPACT? I know it's not part of the
2 Type B criteria, per se, but I didn't know whether you folks
3 in the TRUPACT took a look at compression or not.

4 MR. GREGORY: I'm not aware of any compression test that
5 we applied or analyzed for or would analyze for. The IAEA
6 rules have a crush test that they apply to packages that weigh
7 less than 500 kilograms. But, TRUPACT weighing 19,000 pounds,
8 it really doesn't apply there. The regulatory test sequence
9 that we go through with the TRUPACT, if you go to the 10 CFR
10 71 regulations, they require four tests or analysis for those
11 four tests. And, the first three are done in sequence to a
12 single package oriented in the most damaging orientation. The
13 fourth test, submersion, is done on an undamaged package and
14 that's usually done by static analysis since it's a static
15 situation.

16 DR. CARTER: So, you didn't look at crushing and
17 compression, in essence?

18 MR. GREGORY: I don't know of a test that would fit that
19 definition.

20 DR. CARTER: All right.

21 MR. GREGORY: The tests that we did consisted of the 30
22 foot regulatory drop onto the unyielding surface, the one
23 meter drop onto a steel bar. In the case of the TRUPACT, when
24 we went back to the NRC to discuss the orientation that the
25 package should be in, we proposed that either a slap down at a

1 about a 20 degree angle or a flat side drop was probably the
2 most damaging, but we weren't sure. The NRC then asked the
3 question, well, what about a slap down where it hits the top
4 versus one where it hits the bottom? What about a flat bottom
5 drop or what about a flat drop on the top? We ended up with
6 six possible 30 foot drops that we could impact. When we got
7 into the discussion of the puncture, we came up with a dozen
8 different punctures in sequence with the six drops. The NRC
9 said we would be comfortable if you did all of those tests,
10 not just the one 30 foot drop, the one puncture. So, we split
11 the test sequence between two packages, did three drops, six
12 punctures, and a fire. And, we applied the same test to the
13 other package.

14 After the Challenger disaster, the NRC was focused
15 on o-rings and they said we think you ought to test it or
16 prove to us that it will work at 20 below zero. So, we
17 chilled the package to 20 below zero before we initiated the
18 test sequence. However, before we could start the fire, we
19 had to warm it up to 100 degrees Fahrenheit. The insulation
20 is so good, it took us two weeks to get it cold. It's very,
21 very good insulation. It's like a giant thermos bottle, if
22 you will.

23 The fire results after the first test indicated that
24 we had in some cases burned all of the foam away. So, a layer
25 of ceramic paper insulation was added which was equivalent in

1 the foam engineer's estimation to about three additional
2 inches of foam. The remaining two fires, we had at least five
3 inches of foam in every area, even those that had been punched
4 through, and the foam itself was exposed directly to the fire.
5 There was still about five inches of foam left.

6 The outer containment vessel from the first series
7 of tests was used again in the third series of tests and used
8 again in the fourth series of tests. That same outer
9 containment vessel has been through nine times the regulatory
10 amount of drops and punctures and twice the amount of fires
11 that the regulations require. The degree of conservatism that
12 the NRC is now comfortable with from the test sequence more
13 than makes up for the lack of an analysis that allows them to
14 go back to a safety factor. The degree of overtesting was
15 incredible.

16 The issue that one gets into, though, with a
17 certification by test is the inability to specifically
18 quantify a safety factor. And, for this reason, from an
19 analytical perspective, the NRC would much prefer to have an
20 analysis with a safety factor, so that if you later come back
21 and want to make a design change, they plug the new numbers in
22 and rerun the analysis and now the discussion is our original
23 safety factor was 10, it's now 9, is that okay? And, it
24 becomes that kind of a discussion, rather than you want to
25 make a change, will it survive the test? And, that's why an

1 analysis is much preferred to the test.

2 The most important thing when you're dealing with
3 the regulators is their comfort level. At what point are they
4 comfortable that you've done enough? Because they're the
5 people that put their name on the line that are going to have
6 to stand up and say this package is okay.

7 Some lessons we learned in the testing program or
8 the certification by test is that you have to consider the
9 initial conditions that will cause the maximum damage. In our
10 case, we ran into a situation at Sandia National Labs where we
11 did the test that they wanted to be able to depressurize each
12 containment vessel prior to approaching it after the test.
13 The NRC wanted us to test at maximum design pressure which was
14 50 psi. The process of pressurizing and depressurizing
15 between tests and the addition of multiple test sequences and
16 the chilling to 20 below zero created a condition inside the
17 TRUPACT that would never, ever occur in natural transportation
18 situations where you never pressurize in a normal transport
19 from zero to 50, up and down, nine times over one transport.
20 We managed to work some grid from the payload, which was an
21 artificial payload of concrete, around behind the containment
22 o-ring due to the pressurizing and depressurizing. That grid
23 kept us from going leak-tight on the top containment o-ring of
24 the inner containment vessel in one of the tests. The bottom
25 o-ring was leak-tight. There would have been no release of

1 anything from the package. But, since the top o-ring was
2 designated as the containment o-ring, technically we failed
3 the test. So, we then redesigned and added a foam debris
4 shield to keep the grid out. Then, we discovered that we had
5 some water inside due to the cooling down. This is the
6 containment o-ring on the top. We added the debris shield to
7 keep the grid out and then we added the wiper o-ring to keep
8 the water out. In a real shipment, it's my opinion as an
9 engineer neither of these serves any useful purpose. But, in
10 order to pass the test, they have to be in there.

11 So, the conditions under which you test need to be
12 thoroughly thought through and this is the kind of thing that,
13 how do you get experience? You get experience by making
14 mistakes and we've got a lot of experience. So, you can't
15 spend too much time thinking this through in the beginning.

16 The multiple test sequence, if you choose to do
17 testing, it's going to be important that you be able to tell
18 the NRC what sequence of orientations will cause the maximum
19 damage because that's a question you're going to have to
20 answer. And, the issue of inducing a failure due to a test
21 condition is one that we, frankly, were not turned onto before
22 we started this series. It just didn't occur to anyone that
23 we might cause the failure due to the test sequence, not due
24 to the test itself.

25 Again, listen to the regulators. This is something

1 that was stressed over and over to us. Sandia National
2 Laboratories was our advisor on this program. They told us
3 this repeatedly and it's good advice. You need to listen to
4 the regulators because it's their comfort level that you have
5 to get inside of. And, until you get inside that comfort
6 level, it's going to be difficult if you're going to go in
7 with a test program.

8 Once we had successfully passed the test, as soon as
9 the NRC certification, it's now time to fabricate the
10 packages, build what you've tested. And, the point that I
11 would make here with the first bullet is that you need to
12 bring in outside expertise who has no preconceived bias or no
13 gain by their opinion being expressed. In several cases
14 during the fabrication process, we ran into a problem. NuPac
15 made the disposition, Westinghouse and the DOE bought into the
16 disposition, and we discovered that had we brought in some
17 outside expertise we might have caught the problem quicker.
18 So, regardless of how good your people are, get some external
19 review to come in and look at your fabrication process. ASME
20 boiler and pressure vessel code experts would be the kind of
21 expertise I'm talking about.

22 Don't assume that anything is easy. This seems
23 rather simplistic, but what we discovered is those areas that
24 we thought would be easy turned out to be the ones that bit
25 us. The ones we expected to have trouble with, we put the

1 effort into and solved those problems. It was the easy ones
2 that snuck up on us. So, this is just a caution that any time
3 you think that this isn't a problem, that's the one that will
4 sneak up on you.

5 Following procedures, I think again is obvious, but
6 this is a lesson that we learned. We got into a situation
7 with the initial production where welds were ground below the
8 wall thickness of the base material. I think that's been
9 well-documented and discussed. It wasn't that they didn't
10 follow the procedures, it's they didn't understand the
11 procedure. They followed it verbatim, but the procedure
12 didn't address the right issue. The procedure made no caution
13 about going below wall thickness because it hadn't been
14 identified as an issue at that time. So, make sure that the
15 procedures are there and that they're followed.

16 Quality assurance needs to be a part of the team
17 from the beginning. Too many people made the mistake of
18 treating quality assurance as an us versus them. You need to
19 get quality assurance involved up front. Quality assurance
20 role in my opinion is not to establish the criteria, but to
21 make sure that whatever criteria the engineer establishes, he
22 gets, and you need to be very careful when you establish that
23 criteria because you might just get it. So, it's very
24 important to get quality assurance involvement in the design,
25 in the fabrication right up front. Don't wait until you're

1 through and then ask them to come in and tell you if you did
2 it right.

3 The last bullet is the one that's caused us the most
4 grief on the program since we received certification. This
5 was caused primarily because the NRC reg guide specifically
6 requests that the dimensions not be toleranced unless they're
7 critical dimensions. But, in the absence of a tolerance on
8 the certification drawings, you have not established that
9 boundary to which you can fabricate those drawings. And,
10 interpretation of the lack of a tolerance is what led to all
11 of the frustration that we had with the wall thinning. In
12 fact, the units that passed the certification had grinding
13 almost identical to what was actually built in the first 15.
14 But, it was not reflected on the drawings; therefore, it was
15 not allowable. The NRC was correct in their ruling in my
16 opinion, but it's something that if we had toleranced the
17 design drawings up front, we would have avoided this problem.
18 It's one that no one really thought about again because the
19 TRUPACT was the first of its kind. Typical Type B shipping
20 cask is two or three inches thick. And, if you grind the weld
21 off and undercut it 1/32 of an inch, it really doesn't make
22 any difference because you've got so much material to work
23 with. But, when it's 1/4 inch thick and you undercut the base
24 material 1/32, that is significant. And, it was not
25 identifying that 1/32 undercut on the drawings that got us in

1 trouble. So, as a result of this, the NRC has told us that
2 they will probably require all future applications for
3 approval to have tolerances on the drawings and this will
4 hopefully keep people out of trouble, but strongly recommend
5 that every dimension be toleranced to minimize the risk of a
6 question later, is it okay?

7 To talk about some of the lessons we learned from
8 the operation and maintenance side of it, if you start off by
9 designing safety into the operations, you'll find that it's a
10 lot easier than trying to control safety by administrative
11 means. And, at each step of the way, it's important that the
12 ALARA concept, or as low as reasonably achievable, be looked
13 at. This is not a quantifiable thing. This is one where you
14 have to make a comparison and then use good judgment.

15 There are a number of examples of human engineering
16 or designing safety into the package that don't depend on
17 administrative control. One is the fact that we will do a
18 leak test prior to each and every shipment. This is in
19 contrast to the ANSI M-14 which normally requires a leak test
20 for the first, third, and annual. We will do a leak test
21 every shipment. This insures that if the package is assembled
22 and the o-rings are there it will pass the leak test. If you
23 leave an o-ring out inadvertently, this leak test would catch
24 that. So, you don't depend on someone checking off that says,
25 yes, I think it's there or, yes, I saw it there. You actually

1 do a proof of performance by doing the leak test prior to
2 shipment.

3 Another example is the use of one lifting fixture to
4 lift both lids and the payload out of the package. The bolt
5 circle for the lift is identical in all three cases. So,
6 there's no need to change lift fixtures and no risk of the
7 wrong fixture being picked up. One single fixture handles all
8 three jobs.

9 Another example is the tie-down u-bolt tension on
10 the trailer is adjusted and calibrated against a go/no-go
11 gauge. So, the driver is able to have a go/no-go gauge and
12 the loader is able to have this gauge. And, it's simply a
13 matter of the gauge, either it fits on the go and won't fit on
14 the no-go and that gives him his range of tolerance. He
15 doesn't have to worry about torque wrenches and calibrations
16 and all of this. So, these are some examples where we've
17 tried to design into the process ways to make it easier for
18 the human being and to eliminate the risk of a human error.

19 DR. PRICE: What is the feedback on the lid that it is
20 secure other than the leak test? That it's rotated into--

21 MR. GREGORY: When the lid is installed, the locking ring
22 cannot be secured with the retainer bolts. Once the lid is
23 rotated into a locked position, then three bolts are
24 installed. Those bolts have been wired and tagged to indicate
25 that it's been rotated and locked into. So, you've got a

1 visual inspection that gives you the condition. If the tag is
2 present in the hole and the locking bolt is present in the
3 retainer, that lid must be locked into a locked position. It
4 cannot be--you can't get the bolts in if it's not in the right
5 position.

6 There was a concern initially that if the TRUPACT
7 were ever in an accident that the lid would somehow unscrew
8 itself and the lid would come off. And, I can assure you from
9 having done the test and removed the lid after the test that
10 as little as a three foot drop on its side makes that lid
11 almost impossible to get off. And, after a 30 foot drop, the
12 only way to get it off is to destroy the outer protective
13 shell and actually cut through the locking ring. The
14 precision of the mating surface is so tight that once you just
15 store it, you effectively lock it into place. So, if it's
16 ever in an accident, the lid isn't going to come off. That
17 lock ring just will not rotate.

18 The maintenance requirements have to be reasonable
19 and achievable and again it's back to the quality assurance
20 thing, ask for something that you--because you're going to get
21 what you ask for. We had a lot of discussion with the NRC of
22 what was reasonable. And, the case in point was the life of
23 an o-ring. At one point, there were suggestions that we
24 replace the o-ring every shipment. At another point, there
25 was suggestion that we let the o-ring go until its shelf life

1 had expired. And, we essentially agreed that a once a year
2 replacement, whether or not the o-ring was bad, even if it
3 still passes the test, once a year we'll replace it,
4 regardless. That's a reasonable and achievable kind of a
5 goal. So, the maintenance requirements need to be looked at
6 very carefully. And, also the acceptance criteria needs to be
7 quantifiable. Do good work is not a quantifiable kind of a
8 requirement and that was a case in point we got in trouble
9 with on the fabrication. We did not have a quantifiable
10 acceptance criteria for the requirement to grind the well
11 smooth. The requirement was grind the well smooth. Did we
12 meet it? Yes. But, had we a minimum thickness along with it,
13 we would have avoided a lot of trouble.

14 The NRC safety concerns, again sub-criticality,
15 shielding, and containment, this was well-known by all the
16 packaging designers. NRC is going to look at both normal and
17 hypothetical accidents. The normal conditions are fairly
18 straight forward and easy to survive the test or the analysis.
19 The hypothetical accident is where you have to put your
20 concentrated effort.

21 The NRC is now concerned about flammable gas over
22 the shipping time. The design pressure must be analyzed for
23 one year. With the payloads that we're now shipping in
24 TRUPACT, the maximum pressure we will see in one year is 12
25 psi. So, we have a very conservative design pressure. But,

1 what the NRC has told us as an extra regulatory request is
2 that they do not want to see hydrogen gas or other flammable
3 gases in excess of the lower explosive limit or lower
4 flammable limit. In this case, about 95% of our gas is going
5 to be hydrogen from the radiolysis due to the alpha,
6 radiolysis primarily of water or organic materials. And, we
7 find that we will in some cases reach a 5% hydrogen concentra-
8 tion. That 5% hydrogen concentration is what has driven our
9 payload restrictions from the beginning. So, all of our
10 payloads are evaluated and compared for their potential to
11 generate gas, the gas release rate through the bags, and there
12 are a series of calculations and a fairly complex set of
13 tables that the NRC has bought into that all of the waste must
14 be characterized for gas generation potential. We maintain
15 less than 5% hydrogen in any layer of confinement inside the
16 TRUPACT.

17 DR. CARTER: Let me ask you two questions about the gas.
18 What's your experimental or test programs shown as far as
19 taking actual material in the quantities that would be shipped
20 and in the proper configuration of gas pressures and gas
21 characterization that have been done over this period of one
22 year and what do those data show? Primarily, the pressures,
23 the buildup of pressure over time, and also the character-
24 ization of what gases you have in the--

25 MR. GREGORY: We've looked at the worst case in terms of

1 pressure and, over a one year period of time, 12 psi is the
2 maximum pressure we would see.

3 DR. CARTER: Okay. But, is this a calculated value or is
4 this measured?

5 MR. GREGORY: This is calculated based on laboratory
6 measurements of actual waste samples.

7 DR. CARTER: Okay. But, you've not really done
8 measurements over that period of time. Is that true or not?

9 MR. GREGORY: For actual waste--

10 DR. CARTER: I'm trying to separate now whether you're
11 doing calculations or making actual measurements.

12 MR. GREGORY: We have not made any waste shipments. When
13 the shipments arrive at their destination, we will measure the
14 head space gases and the pressures. So, we will maintain that
15 data. But, since we have not shipped any waste yet, we don't
16 have any actual numbers.

17 DR. CARTER: Well, you don't need to ship it. I presume
18 you can do this kind of testing at each generator site if you
19 wanted to. You know, put material in and leave it a period of
20 time and measure the actual pressures that are generated.

21 MR. GREGORY: This has been identified by a study done by
22 Tom Clements at Idaho where he sampled over 200 drums that had
23 been sent with known waste materials and he measured
24 quantities and pressures in those drums. These were sealed
25 drums, not vented. All of our drums are required to be

1 vented. So, we will have no pressure buildup within a drum of
2 waste. All of the drums at all of the generator sites now are
3 vented, as are the liners, and the bags all have a known
4 release rate.

5 DR. CARTER: What about the determination of the specific
6 gases that are generated? Do you have a good handle on this
7 based on experiment?

8 MR. GREGORY: Yes, we do. We have samples and there is a
9 report by Clements and Kudera at the Idaho National Engineer-
10 ing Lab where they have sampled and quantified the gases in
11 the head space of the drums. Based on that, we put together a
12 chemical list which addresses the chemical compatibility of
13 the materials and the chemical gases which would be produced,
14 the volatile organic compounds, and the flammable VOCs. We
15 have a further restriction of less than 500 ppm for flammable
16 VOCs.

17 DR. CARTER: Okay. The other question, because it would
18 appear to me that your entire transportation program, the
19 design of the TRUPACTs and so forth and, in fact, the
20 operation of WIPP itself is based on, essentially, the waste
21 acceptance criteria. So, your program is based on what waste
22 you're going to be transporting and so forth. So, I had a
23 couple of questions about this. Obviously, the pictures you
24 show of the TRU waste, it's fairly obvious that it's
25 completely non-homogeneous. And, my question is--

1 MR. GREGORY: Some of the waste, that's true.

2 DR. CARTER: Yeah, well, what you showed I think
3 obviously fit that category quite well.

4 MR. GREGORY: Right.

5 DR. CARTER: And, the question is how well can you
6 characterize such non-homogeneous waste? Because obviously
7 your TRUPACT and so forth obviously depends on what you put in
8 it and so this is why the waste acceptance criteria is
9 extremely important.

10 MR. GREGORY: The waste acceptance criteria as was
11 established for storage at WIPP dealt with primarily operator
12 safety considerations. The transportation criteria which is
13 based on the same kind of criteria or the same requirements,
14 but with a different set of criteria, is based on the 60 day
15 shipping period that we would be transporting the waste. The
16 concern over 60 day shipping period was really compatibility
17 with the materials of construction, the butyl o-rings and the
18 304 stainless steel. So, once you've evaluated your waste for
19 compatibility with those two materials, you've satisfied that
20 requirement. And, we've done that through the chemical list.

21 The second issue was 5% hydrogen. In order to
22 calculate the 5% hydrogen, you need to know the number of
23 layers of confinement. You need to know the rate at which the
24 gas is generated and the rate at which it's released from the
25 layers of confinement. We have done laboratory tests and

1 experiments to determine the rate at which it's generated for
2 the various materials and these are broken down into
3 categories. We have the rate of release of the hydrogen from
4 the layers of confinement and the sites identified the number
5 of layers of confinement. Given those three pieces of
6 information, you would then go to a table with the knowledge
7 of the isotopic inventory in the drum, which we know given the
8 analysis and the measurements that can be done by assay. We
9 then can calculate or determine the wattage of each drum.
10 That wattage is then compared to a table to determine whether
11 or not you'd exceed 5% hydrogen. If you exceed the 5%
12 hydrogen, you may not ship it. There is a fourth test
13 category which allows you to put drums through a test program
14 to determine the actual amount of gases that are generated.
15 Remember, all of these tables are based on worst case
16 scenario. The real amount of hydrogen is significantly lower,
17 we know, than what the maximum theoretical amount could be.

18 DR. CARTER: Well, what, for example, is to preclude
19 someone putting more cesium-137 in one of these things than
20 should be so that you end up with a shielding problem?

21 MR. GREGORY: In order for waste to be shipped, the
22 generator site has to first prepare a site plan known as a
23 TRAMPAC, TRUPACT Authorized Methods for Payload Control.
24 There is an attachment to the safety analysis report, Section
25 137, which is a generic TRAMPAC that all the sites have to

1 meet. They submit that to a committee known as the Waste
2 Acceptance Criteria Certification Committee, or the WACCC as
3 we refer to them.

4 DR. CARTER: That's located at WIPP?

5 MR. GREGORY: That's at WIPP, but it is a committee that
6 works for the DOE. It's staffed by DOE, by Westinghouse, and
7 by outside consultants. That committee then approves the
8 site-specific TRAMPAC or how this site, whether it be Idaho
9 National Engineering Labs or Rocky Flats or Los Alamos or
10 anyone else, will do business. In that plan, they would
11 reference their site-specific procedures. The WACCC would
12 then review that plan and approve it. They would then go to
13 that site and audit those site-specific procedures to verify
14 that those procedures were, in fact, being met. One of the
15 criteria on that is a limitation on the fissile content.
16 Another criteria would be the shielding. So, in order to pass
17 that audit by the WACCC, they would have to have a procedure
18 in place that they measured the shielding, measured the dose
19 rate at the surface. Shielded drums are not allowed if the
20 shielding is there to reduce the radiation level. Now, if the
21 shielding is there for ALARA, it would be allowed.

22 DR. CARTER: Okay. Now, I presume at some time in the
23 operational history of WIPP that it will get waste material
24 from somewhere, whether this is Rocky Flats, Savannah River,
25 or wherever, that may not meet the WACCC criteria. Now, what

1 happens to this if it comes in and it's got, for example, too
2 much gas pressure, if it's got too much liquid, if it's got
3 too much plutonium-239 in it, or just what?

4 MR. GREGORY: The waste would not be allowed to be
5 shipped to WIPP if it didn't--

6 DR. CARTER: No, I'm talking about if there's an error
7 made at the generation or the shipping site and I presume
8 that's possible. You'll never have a completely fool-proof
9 system. My question is if you get such a thing that you find
10 when it gets to WIPP that it does not meet all the criteria,
11 what do you do with it? Do you treat it there to make it
12 compatible with the criteria or does it go back to the
13 generator? That's really my question.

14 MR. GREGORY: WIPP does not have a treatment facility or
15 processing facility. That's why so much emphasis is placed on
16 the certification of the waste before it leaves the origin
17 site or the storage site. The waste is certified for storage
18 prior to being shipped. It's not certified after it gets to
19 WIPP.

20 DR. CARTER: I see. So, you assume then that you've got
21 a fool-proof system and you're never going to have any waste
22 received that does not meet the waste acceptance criteria.
23 So, you have no contingency problems to deal with those if
24 they should occur?

25 MR. GREGORY: We could have a situation where the waste

1 was shipped in a certified state and arrive at WIPP in an
2 uncertified state. We do have contingency for that. As an
3 example, if we discovered contamination on the outside of the
4 container, the drum or the standard waste box, we have an
5 overpack room built that we would go into with that waste,
6 overpack it, and decontaminate the TRUPACT. So, those
7 situations that we expect are possible or probable to occur,
8 we do have that contingency. But, a tremendous effort is
9 being placed on certification prior to shipment because we
10 don't want to deal with the situation that we've now got this
11 waste that we can't ship it, at all. That it doesn't meet the
12 criteria.

13 DR. CARTER: Well, the only--yeah, I understand. You do
14 have a contingency plan then for treating wastes that does not
15 meet the criteria, wherever that happens to have occurred?

16 MR. GREGORY: Yes, sir.

17 DR. CARTER: The other area I wanted to ask you about,
18 you mentioned several times that in dealing with the NRC or
19 the regulatory agency in this case, as far as TRUPACTs are
20 concerned, that you've got to satisfy their comfort level. I
21 wonder if you'd expand a little bit on comfort level which, I
22 presume, is a pretty subjective thing versus what I would
23 consider objective numerical criteria of the NRC?

24 MR. GREGORY: The comfort level, as you correctly
25 identify, is very subjective and it has to do with the fact

1 that as individuals we all have things that turn us off or
2 turn us on. That's why in my opinion an analysis is much
3 preferable to a test because then you're talking about
4 quantifiable numbers. Talking comfort level or evaluating a
5 design without a test or without an analysis, it's really like
6 trying to compare two horses before the race. Until you go
7 out and do the test or do the analysis, do you know. Once we
8 did the test, the NRC's comfort level came up to a very nice
9 --a warm, fuzzy feeling is the expression that we use. Prior
10 to the test, it was difficult to gauge their comfort level
11 other than it was obvious that it wasn't very high because
12 this was a fairly new design. And, it was trying some things
13 that they had never seen before and this is why their comfort
14 level was maybe not as high as if we'd come in with a
15 conventional bolted design that they would have looked at and
16 said, oh, yeah, that's just like all these other casks we've
17 approved and we know that three-quarter inch bolts are about
18 right and it takes one about every six inches, that kind of an
19 experience.

20 DR. CARTER: Well, that's helpful. It's a combination of
21 the two, rather than either/or.

22 MR. GREGORY: That's correct.

23 DR. CARTER: Okay.

24 MR. GREGORY: It is a combination of the two. And,
25 that's really where the test program was developed. Why do we

1 do this regulatory test? This is not the most severe accident
2 that could ever occur, but it is an extremely severe accident.
3 And, Sandia National Labs has done a number of tests to try
4 to calibrate this against a real accident. And, in all the
5 tests they done, including crashing trucks into walls and
6 locomotives into casks, the 30 foot regulatory drop and the
7 puncturing and a fire has been more severe than a real life
8 kind of a highway accident. But, could you come up with a
9 more severe crash? Of course, you could. So, it's a very
10 quantifiable, repeatable test and that's what's so good about
11 it.

12 DR. PRICE: And, we're going to have to decide how we
13 handle Rich Leonard and lunchtime and so forth, but I do want
14 to ask you a question. Did you run into any problems or much
15 flack due to the difference between the DOT tie-down
16 requirements of one and a half times the weight versus the NRC
17 requirements and the compatibility and the logic involved
18 between two sets of requirements there?

19 MR. GREGORY: I think the difficulty that we ran into, we
20 created ourselves because we put out a story that described it
21 as a "breakaway tie-down system". It's not a breakaway tie-
22 down system. The NRC's concern, as you know, is that if
23 anything happens to the tie-down, they don't want the
24 packaging compromised. When we explain to people that those
25 tie-downs meet the same rules that every other tie-down system

1 across the highway is using, it's just that the one on the
2 packaging is so much more massive, it makes the u-bolt look
3 small. People accept that and understand it. But, this is a
4 common question that we get when we sent this unit out on the
5 road show demonstrations. People look at it and they comment
6 on the tie-down system. That really looks like a small tie-
7 down. And, once we explain the process, that tie-down meets
8 all of the rules that every other transport going across the
9 highway meets, then they start to get comfortable because
10 basically loads don't come off by themselves. You know, we
11 travel millions of miles with the loads right where they are.
12 So, the DOT rules seem to be about the right place. And, we
13 need all of those DOT rules.

14 DR. PRICE: Um-hum.

15 MR. GREGORY: But, there is a discontinuity. I recognize
16 it and it's a fact of life, two different agencies have a set
17 of rules that go together like this.

18 DR. PRICE: Do you think that for this particular case,
19 DOT ought to be involved in an exception to their tie-down
20 rules and provide stouter tie-downs?

21 MR. GREGORY: Well, I would ask the question back. What
22 would you propose? That DOT increase the margin of safety for
23 their rules?

24 DR. PRICE: That's what I meant by saying stouter or a
25 more robust tie-down.

1 MR. GREGORY: I don't think that's necessary because if
2 you do, you'll start to infringe on the packaging itself and
3 get into a situation that the NRC doesn't want to see, that
4 maybe the packaging fails. The other side of the coin is that
5 if you make the u-bolt so strong that it won't break, you're
6 now going to tear the trailer frame. So, in any given system
7 where you have a test to failure, something is going to fail
8 if you make that stronger. You just move the failure
9 mechanism somewhere else. So, the question is would you
10 rather have a replaceable u-bolt fail so that in the field you
11 can put a new u-bolt on and continue the trip or would you
12 rather rip a hole out of the side of the frame or out of the
13 side of the TRUPACT? And, I think the--

14 DR. PRICE: Um-hum. But, there is a big difference
15 between the requirements specifically on the TRUPACT and the
16 tie-down and could they not be closer?

17 MR. GREGORY: You're asking the wrong person. You need
18 to talk to the DOT about that. I, personally, don't see any
19 problem with the rules the way they are. And, we've put over
20 100,000 miles on these trailers with road shows and simulated
21 weight TRUPACTs and we've had to my knowledge one broken u-
22 bolt and we replaced that and that u-bolt, by the way, was an
23 earlier design. The material has been strengthened. So, I
24 don't see a problem.

25 DR. PRICE: Thank you.

1 Mike, I'm wondering if we could not get Rich Leonard
2 in or should we break for lunch now? It's about noon, coming
3 up of noon. And, we could have Rich as the first speaker
4 right after lunch if we prefer to break now or we could get
5 him in and have a little later lunch. Which is better?

6 MR. MCFADDEN: Rich is definitely going to need 30
7 minutes.

8 DR. PRICE: Um-hum.

9 MR. MCFADDEN: So, it's your call whether we can do it
10 after lunch or go to lunch at 12:30.

11 DR. PRICE: Well, from a subject matter standpoint, it
12 makes a cleaner break to have him here with this part.
13 However, it's sort of like a toss of the coin, I think,
14 because we have time later. So, why don't we go ahead and go
15 to lunch now and try to come back a little bit earlier than
16 scheduled. We were scheduled to leave for lunch at 12:15.
17 We'll leave at 12:00. We were going to be back at 1:30. Can
18 we try to be back here by 1:15 and begin at that time? Would
19 that be all right?

20 MR. MCFADDEN: Yes.

21 DR. PRICE: All right.

22 (Whereupon, a luncheon recess was taken.)

23

24

25

1

2

A F T E R N O O N S E S S I O N

3

DR. PRICE: Let's begin our afternoon session.

4

Rich, it is all yours.

5

MR. RICH LEONARD: I'm Rich Leonard with Westinghouse Governmental Affairs. I would like to thank the Board and the audience for this opportunity to talk about the WIPP Institutional Programs. I am going to be giving a different presentation than my predecessors here. I probably have a louder mouth than they do and in the interest of making up of some time I hope to have maybe a faster mouth. I also have to admit whereas they seem to have years of experience with the WIPP as Mike McFadden introduced, I've only been here for about a year, so I may not be able to quote firsthand the old testament of some of these issues and may inevitably have to draw upon my associates and maybe the members of the audience to reflect on some of these matters.

18

I want to address three areas. The first one should say New Mexico and other states and tribal cooperative agreements because certainly I'll be reflecting on the Western Governors' Association Cooperative Agreement even though we have representatives from the Western Governors' Association here this afternoon; emergency response training and transportation route selection.

25

Getting into New Mexico and the history of WIPP in

1 New Mexico and institutional affairs, the State passed their
2 Radioactive Materials Act in 1979, which established their
3 Radioactive Waste Consultation Task Force, which is an
4 executive branch task force reporting to the Governor, and
5 which negotiates with the DOE on WIPP matters. They also have
6 a Radioactive and Hazardous Materials Committee which provided
7 legislative oversight of WIPP.

8 The Environmental Improvement Division of the State
9 is a regulatory body to monitor WIPP and has gotten its mixed
10 waste authority from the U.S. Environmental Protection Agency.

11 What has been traditionally considered a New Mexico
12 Institution is the New Mexico Environmental Evaluation Group.
13 Mr. Neill with the EEG is here this afternoon and he is going
14 to make comments, and in the interest of time I really won't
15 get into the specifics of their role other than they provided
16 independent assessments of WIPP operations and that sort of
17 thing.

18 Now before I show you the next slide, it came quite
19 of a surprise to me as the new person to WIPP who no sooner
20 got there than all the talk was cooperative agreements and
21 that sort of thing, when going back in time we have to
22 consider that there was a period of time where the state and
23 the DOE weren't seeing eye-to-eye over just what the agreement
24 for consultation and cooperation should cover if the DOE back
25 in 1981 was thinking that perhaps it would be limited to the

1 site boundary where the state was thinking it should be,
2 possibly include matters covering the entire state. That
3 resulted in a suit brought by the State of New Mexico, over a
4 lack of an agreement for consultation and cooperation. But
5 for which the suit was settled through a stipulated agreement
6 in 1981, and to which there was a consultation and cooperation
7 agreement attached as an appendix to get into the
8 transportation issues, the DOE and the state signed a
9 supplemental stipulated agreement in 1982, which addressed the
10 state's off-site concerns including emergency response
11 training and equipment, WIPP transportation route selection
12 and funding to upgrade portions of the routes. Perhaps not a
13 transportation issue itself but it also addressed independent
14 environmental monitoring for the state and Price-Anderson
15 coverage for WIPP incidents.

16 Since that time this agreement for consultation and
17 cooperation has been amended three times. In 1984 to require
18 compliance with all applicable EPA regulations. In 1987 to
19 require DOE support for the state in its efforts to obtain
20 federal funding to compensate the state for WIPP impacts and
21 to build relief routes around six New Mexico sites on WIPP
22 transportation routes. And in 1987 to require additional
23 testing at the site.

24 I'd like now to move into some aspects of the
25 emergency response training and public information that the

1 WIPP site has undertaken. The WIPP teams visited the state
2 government of each state on WIPP transportation routes from
3 Idaho and Savannah River in 1987 and 1988 to address first of
4 all emergency response training and a public information tour
5 that would be undertaken. The emergency response training was
6 completed in its first round you might say, even though we
7 have retraining every year, it was completed in its first
8 round for the corridor from Idaho National Engineering
9 Laboratory in 1988, and refresher training has been provided
10 ever since then. And an initial public information tour was
11 also completed in 1988.

12 In the State of New Mexico, we have a specific two-
13 year agreement on emergency training and equipment. It was
14 first of all signed in 1988 and made provisions for financial
15 assistance and emergency response equipment. And then in 1990
16 was renewed for another two years. Here again all around
17 emergency response equipment and financial assistance. When
18 we cite the numbers of \$203,017 for financial assistance, that
19 was actually funds provided to the state so they could procure
20 personnel, some equipment and other financial assistance that
21 they had requested in regard to the \$60,000. For in 1990, the
22 \$30,000 that was actually equipment which the Department of
23 Energy procured directly and provided directly to the State
24 rather than financial assistance rather than the monies.

25 I'd like now to move onto the agreement between the

1 Western Governors' Association and the U.S. Department of
2 Transportation. You might say, why are we talking about the
3 U.S. Department of Transportation cooperative agreement? Well
4 that was the predecessor to the cooperative agreement between
5 the Western Governors' Association and the Department of
6 Energy and many of the same activities you find in the
7 Department of Energy's cooperative agreement with the WGA,
8 were preceded by those very same activities under the
9 Department of Transportation Cooperative Agreement.

10 In 1988 Congress provided \$1 million to the states
11 along the Hanford to WIPP route to address safety concerns
12 related to WIPP shipments. The activities were implemented
13 through a one year cooperative agreement between the WGA and
14 the DOT. And the significant product out of that was a report
15 to Congress saying that the states were most concerned with
16 three major areas, accident prevention, emergency preparedness
17 and public information.

18 That was followed by the five-year cooperative
19 agreement with the U.S. Department of Energy and the WGA,
20 which provided in its first year \$1.515 million to what might
21 be regarded as the seven states in the Hanford to WIPP
22 corridor plus three additional states of Arizona and Nevada
23 and California were provided the funding to attend the WGA
24 meetings in that first year. Their funding will be increased
25 in the second year as shipments from or shipments through

1 those three states approaches. And each of the corridor
2 states provides a work plan under the cooperative agreement
3 citing specifically what each state is going to do to address
4 its individual concerns even though in general the cooperative
5 agreement is intending to address state's concerns on a
6 regional basis.

7 In the general category of accident prevention, the
8 cooperative agreement addresses activities involving driver
9 and vehicle audits for contract compliance. That's where the
10 State of New Mexico would come in and actually audit Dawn
11 Enterprises to provide verification of their complaints with
12 the contract. There's independent inspections of the
13 shipments, advance notice of the shipments and shipment status
14 information which a central focus to those two issues is the
15 use of TRANSCOM. There are procedures being worked out
16 between the Department of Energy and the states in avoiding
17 bad weather and adverse road conditions as well safe as
18 parking under abnormal conditions.

19 Under emergency preparedness, we have activities
20 involving mutual aid agreements, emergency response plans,
21 radiation detection and protection equipment and training of
22 emergency responders.

23 Public information, I think a focus of public
24 information is not that it is just one-sided. Department of
25 Energy provides information but the states are a party to it

1 and even moving towards having the public, getting public
2 interaction or reaction to public information. And in fact
3 this Spring, there is going to be what is called a risk
4 communication seminar with the Western Governor's Association
5 and the DOE to talk about the very aspect of productive
6 interaction with the public in passing information.

7 Department of Energy is negotiating cooperative
8 agreements with the Southern States Energy Board and is in the
9 process of negotiating with two Indian Tribes; one, the Fort
10 Hall Shosone-Bannock Tribes in Idaho, the other the
11 Confederated Tribes of the Umatilla Indian Reservation in
12 Oregon and other tribes and they have the implementation plan
13 to negotiate cooperative agreements with other tribes as
14 shipments through their area approach.

15 DR. CARTER: Do the routes go directly through
16 reservations, or are they just nearby?

17 MR. LEONARD: No, they go directly through reservations.
18 In fact there are times when you have the Pueblos in New
19 Mexico, you have to sit there and judge whether or not their
20 reservation is adjacent to the route or possibly over beyond
21 what would be an impacted area. But those two we are talking
22 about go through the reservation.

23 One thing we have learned is that the cooperative
24 agreements between the Department of Energy and state regional
25 organizations provide a uniform approach to problem

1 resolution, that's getting back to the WGA, is actually
2 approaching the resolution of the state's concerns on a
3 regional basis. Now that is not to say that states don't have
4 their individual concerns and through the work plans under the
5 cooperative agreement are allowed to do state specific
6 activities, but for the most part the cooperative agreement is
7 addressing the state's concerns on a regional basis.

8 In contrast to the states which have their
9 cooperative agreement through state organizations, the tribes
10 should be dealt with individually of sovereign states, and as
11 we are discovering through negotiations over cooperative
12 agreement with those two tribes I've mentioned, cooperative
13 agreements are a viable way to address the concerns of the
14 tribes.

15 I'll pause here to see if you have any questions on
16 what seemed to me like a pretty fast presentation on
17 cooperative agreements, although I would mention that later on
18 we do have the representatives of the states from the WGA who
19 will be providing you probably more information or possibly
20 reflecting on what I said and that sort of thing.

21 DR. CARTER: Yeah, let me ask you a couple. One, are
22 there any differences other than legal in terms of the context
23 or the content for example of cooperation and consulting
24 agreements, stipulated agreements, supplementary stipulated
25 agreements and so forth?

1 MR. LEONARD: I'm certainly no lawyer, but my impression
2 is that the stipulated agreement and it's appendix which is
3 the agreement for consultation and cooperation and the
4 supplemental stipulated agreement are actually all one
5 document or agreement, and I'm not sure what else I might say
6 about them. They are not viewed so much independently as one
7 building upon the other. They are like a building block to
8 the entire agreement with the--building blocks to the entire
9 agreement with the State of New Mexico.

10 DR. CARTER: Okay. The other couple of questions, do you
11 work directly with or have any sort of agreement with the
12 Western State Energy Board?

13 MR. LEONARD: Western Interstate Energy Board?

14 DR. CARTER: No. Western State Energy Board.

15 MR. LEONARD: No, we do not.

16 DR. CARTER: Which I presume is a creature of Western
17 Governors' conference. But, I just wondered if you dealt with
18 them directly?

19 MR. LEONARD: We do not.

20 DR. CARTER: Do you have any agreements directly with the
21 Conference of Radiation Control Program Directors?

22 MR. LEONARD: We do not.

23 States Training and Education Programs--the
24 Consultation and Cooperation Agreement of 1981 with the State
25 of New Mexico commits the DOE to emergency response training

1 in New Mexico. And then later on in 1987 had a meeting with
2 the Western Interstate Energy Board, DOE committed to training
3 outside of New Mexico within the corridor states.

4 And the emergency response training program was
5 initiated by the Department of Energy's Joint INtegration
6 Office back in '86. It was transferred to the Westinghouse
7 Waste Isolation Division in '87. The curriculum was presented
8 by Westinghouse and the program was presented by Westinghouse
9 by the Western Interstate Energy Board in 1987 and 1988.

10 Basically what is in the states training and
11 education program, we have the first responder of course,
12 which is geared to just as it sounds, the first responders to
13 the scene, which might be local fire fighters, emergency
14 medical technicians or law enforcement personnel. It's a one
15 day course. There is a command and control course which
16 starts out the first day presenting the first responder course
17 which moves onto the second day into the command and control
18 of the scene, typically by a state official, an official of
19 the State Police. It might be the on-scene commander for
20 controlling the entire scene. There is a mitigation course
21 which is typically attended by a radiation protection drill
22 person or environmental improvement division person.

23 The whole idea is there is an assessment of the
24 radiological impact of the accident and what mitigating action
25 should be taken to protect the public in the environment. And

1 then there is a train-the-trainer course which is offered in
2 case the states would like to do their own training of first
3 responders. They can take this train-the-trainer course and
4 thereafter train the first responders themselves. That
5 particular course has not been widely utilized thus far. Thus
6 far it has basically been the Department of Energy through
7 Westinghouse Electric Corporation that has done all of the
8 training for first responder command and control and
9 mitigation. There is also a first responder refresher course
10 offered which is a half-day course in recognition of some of
11 the first responders, they have already taken the first
12 responder course but want to come back whether it is on a
13 yearly basis or whatever and take a refresher, mainly
14 concentrating on the radiological aspects of the training.

15 DR. CARTER: Is most all of the training done in the
16 field where the people are located rather than at the WIPP
17 site or is it some combination of the two?

18 MR. LEONARD: Oh, it's all done in individual states, and
19 I might at this point pause to mention that the training
20 sites, meaning the locations, and the training dates are all
21 negotiated with the state. It's not that Westinghouse
22 develops a training campaign of locations and dates and simply
23 publishes it, it's that it is in cooperation with the states.
24 In the end it is the states who actually invite the students
25 and select who will attend, but it's all a cooperative effort

1 and negotiated between Westinghouse and the states.

2 I mentioned earlier that the training was initiated
3 in 1988. It started in Utah of April of 1988, and within five
4 months we had completed the training in the first five
5 corridor states of Idaho, Utah, Wyoming, Colorado and New
6 Mexico.

7 In that first corridor over those five states thus
8 far, we've trained almost 4,500 responders. We also provided
9 training in the six southern states in 1989, total of 1600
10 students. And altogether there's been more than 6,000
11 students trained as of February 1991.

12 DR. CHU: Excuse me, Rich, these numbers, do they reflect
13 direct training or pyramided through train-the-trainer?

14 MR. LEONARD: Actually the train-the trainer has very
15 little impact. It hasn't been used by the states up until
16 now.

17 DR. CHU: Okay, so these are direct--

18 MR. LEONARD: We have offered what might be a half dozen
19 train-the-trainer course basically just to show the states
20 what they consist of. The train-the-trainer course has not
21 been utilized by the states as the means of providing training
22 to the first responders or the command and control or anything
23 like that. So train-the-trainer has its prospects in the
24 future as being widely utilized as the states may decide to
25 take over the training themselves. But up until this point it

1 has not been widely utilized.

2 We have enjoyed success in the students evaluations
3 of the courses and 86 percent have rated the courses at above
4 average or excellent. And we attribute the reasons for the
5 success in that our instructors are former fire fighters,
6 police officers or emergency medical technicians themselves,
7 and this develops a rapport with the students that they can
8 relate to rather than having what might be a very slick
9 presentation by somebody who they can't really associate with
10 ever having been on the ground as they have to in an
11 emergency.

12 We've said the training is taken to the students
13 eliminating their travel. It is actually provided in sites
14 that the state selected, hoping to be able to attract students
15 to them up and down the corridors. And through our
16 evaluations that we get back from the students, we have tried
17 to tailor the course to what the students actually expect to
18 see and want to see and need to see and that sort of thing
19 based on their reaction.

20 Some benefits of the program having a central
21 training staff that's able to go into each of the states, it's
22 less costly than if each state had developed its own training
23 program. It provides some consistency between the states in
24 that the same training staff and same program is presented
25 throughout the states, and allows the materials to be updated

1 at a central location instead of having to keep our number of
2 states informed of changes in the WIPP transportation system
3 even if there are things like the TRANSCOM system or the look
4 of the trailer, that's something we do cover in the training
5 to familiarize them with what the transportation, the WIPP
6 transportation system actually looks like so they will
7 recognize it in an emergency.

8 Here are some trends that certainly points to the
9 future for the training program. We find that more law
10 enforcement officers attend than the other two emergency
11 responders of fire fighters and emergency medical personnel.
12 Actually that is not so much dis-serving but something of
13 note.

14 Now here is something we would like to promote in
15 the future though that more local officials attend the
16 training even though they may not be emergency responders, it
17 is important to have the local officials cognizant of what the
18 WIPP transportation system consists of, what the emergency
19 response training is providing for, and just the whole aspect
20 of what is WIPP about and what are these shipments coming
21 through their community. How are they being provided for as
22 far as emergency response training is concerned.

23 Attendance at the courses decreases 40 percent per
24 year, and we still have yet to figure out exactly why that
25 might be. On the positive side you might speculate that well

1 the emergency responders have received the training and are
2 satisfied and don't care to come back the next year. You
3 might also say that maybe even those that haven't attended
4 have heard from the others that the WIPP transportation system
5 is the safest of any hazardous material in the United States
6 today as was concluded by the National Academy of Sciences and
7 therefore maybe they are not so much considering it a threat
8 for which they need training.

9 On the other hand, it may be that we are not
10 providing the training and hours that they continue to be
11 attracted to. We are keeping that in mind as we negotiate
12 with the states that maybe we have to provide training in off
13 hours in the evenings and on weekends. If one of these
14 responders might be volunteers, maybe they can't readily take
15 off to attend the training.

16 There's been some speculation also that maybe the
17 attendance is dropping because the responders don't see
18 imminent WIPP shipments. That at first it as a novelty that
19 here is the prospect for WIPP shipments and they attended the
20 training and thereafter they have not seen WIPP eminently
21 opening and so maybe they have lost interest.

22 This is all speculation because actually we are
23 still trying to get a handle on what is it that has caused the
24 attendance to drop. On the other hand the acceptance of the
25 courses by the students has increased each year. The

1 percentage of students rating the course as above average or
2 excellent has gone up.

3 DR. PRICE: What are the objectives of the training
4 course? If that isn't a general question then I don't know
5 one.

6 MR. LEONARD: Well, it's pretty general and I might just
7 kind of give you a thumbnail sketch of the first responder
8 course. I'll not take up the time to read down through this
9 entire course outline. But, under introduction we talk about
10 a WIPP overview and the definition of transuranic so they can
11 get an idea of what the waste is. We even talk about the
12 waste acceptance criteria so they have an idea of what is
13 actually in the waste. We talk about radiation, both
14 naturally occurring and what is represented through the WIPP
15 shipments, concentration on alpha as being something that
16 discriminates transuranics, alpha radiation from the other
17 sorts of radiation that they might be encountering in other
18 shipments of radioactive materials.

19 We talk about radiation terminology and protection
20 principles and possible exposure from WIPP shipments. We go
21 onto address the transportation system itself including how
22 the routes were selected and what the history is of
23 transportation of radioactive materials and what regulations
24 affect transportation. We get into the TRANSCOM tracking
25 system. We talk about the TRUPACT package, both in its

1 physical characteristics and what sort of certification
2 requirements from the NRC were imposed upon it. And then we
3 get into emergency response training course itself, talking
4 about the former transportation emergency response guidebook
5 as we refer to it. We talk about the Department of Energy's
6 response which is the radiological assistance program and what
7 it provides as the secondary or tertiary response to an
8 accident. And we talk about the specifics of what fire,
9 medical and law enforcement personnel should do in response to
10 a TRUPACT accident. And in the end we have a question and
11 answer period. And that's the first responder course.

12 Like I was saying the command and control course,
13 the first day is the first responder course. And the second
14 day it gets into actually addressing how to control the scene
15 and what the on-scene commander is having to deal with. The
16 integration of agency, the communication which is going to
17 have to take place. And it ends up with table-top exercises
18 of a scene complete with models of a scene with cars and
19 trucks and that sort of thing.

20 DR. PRICE: Does it differ--much of what you have
21 presented sounds quite similar to what would occur in most
22 hazardous materials type training course for first and
23 emergency responders.

24 MR. LEONARD: It draws on that although it doesn't really
25 address response to the hazardous materials constituents

1 themselves. A lot of it has to do with the emergency response
2 and protocols and that sort of thing. It doesn't concentrate
3 on hazardous materials constituents as much as it does of the
4 peculiarities of radioactive materials, and in particular the
5 Transuranics.

6 DR. PRICE: Does it use instrumentation?

7 MR. LEONARD: No, it does not, because first responders
8 are not expected to have radiation detection equipment. That
9 would be expected to be a role of the state mitigation teams.
10 In fact that is a policy which has been upheld by the
11 conference of radiation control program directors and that is
12 that state responders as the focus of their response is fire
13 suppression, control of the area, rescue, it is not doing the
14 job of the state responders, the mitigation teams of assessing
15 the degree of release, contamination, the environmental
16 impacts and what mitigation activities should take place to
17 protect the public and the environment.

18 DR. CARTER: I am not too sure I would agree with you
19 maybe in the WIPP program. But certainly over a period of
20 years in many, many cases, first responders did have
21 monitoring instruments and so forth. A number of the states
22 for example the State Highway Patrol has instruments. They
23 are trained in their use and also highway personnel and so
24 forth.

25 MR. LEONARD: Some of them may. I guess a perspective

1 could be drawn that you wouldn't want their primary roles of
2 fire suppression, rescue and control of the area to be delayed
3 with them pursuing let's say a survey of the area and that
4 sort of thing.

5 DR. CARTER: Yeah, but the question is whether you
6 evacuate the immediate area and how far you evacuate it and
7 that sort of thing is one of those functions of first
8 responders if you've got the proper training and so forth.

9 MR. LEONARD: Well to answer your question, that is not
10 part of our first responder course.

11 Well one thing we've learned is that even though the
12 cooperative agreement with the Western Governors' Association
13 allows us to address states concerns on a regional basis, when
14 it comes down to the states training program, we are pretty
15 much convinced that you should deal with the individual states
16 just because it is through that mechanism that we can more
17 readily negotiate the dates and the locations and work with
18 the states on how many students are expected and that sort of
19 thing. And as we have said before we should take the course
20 to the responders.

21 About WIPP transportation and route selection, our
22 big concern at this point is obtaining a New Mexico designated
23 route. The New Mexico routes were initially envisioned in the
24 supplemental stipulated agreement signed in 1982 and the other
25 routes were laid out and of course with DOT regulations in

1 1986 and were introduced to the Southern States Energy Board
2 in individual western states and through the National Congress
3 of American Indians and to the Western Interstate Energy
4 Board.

5 I am going to show you a map here that I could spend
6 quite a bit of time talking about what it does and doesn't
7 show. One thing I might mention is that it doesn't show
8 Interstate 20 which comes across the southern states from
9 Savannah River. And the reason for that is if we were to use
10 Interstate 20 it would be within the context of the old
11 Department of Transportation regulations which basically said
12 you will use the Interstate routes.

13 They didn't say, as do the current Department of
14 Transportation regulations, that you will use the Interstate
15 routes that are the closest point to your destination, unless
16 a state has designated an alternate route through its state
17 designation process. So, in the context of that and perhaps
18 keeping in mind that the State of Texas is not taking actions,
19 as is the State of New Mexico, to designate a route. In the
20 absence of a Texas designated route to connect Interstate 20,
21 let me start pointing, Interstate 20 would come across here to
22 Pecos, Texas. In the absence of Texas designated route to
23 link Interstate 20 with the WIPP site, we'd have to be relying
24 on the New Mexico designated route which we are hoping to get
25 which is generally depicted here (indicating).

1 If we did a New Mexico designated route which is
2 generally depicted here and I'll have a blow-up map here in a
3 minute of what we are hoping to get or what the state has been
4 proposing. If we get a New Mexico designated route coming
5 from the North, then all WIPP shipments would be utilizing
6 that route from the north.

7 This is reflected under the Department of
8 Transportation modifications of the regulations of 1989 which
9 is the point in time at which the Department of Transportation
10 said, "It is not just a matter of using the Interstate routes
11 with a lot of discretion of where you jump off of them to
12 continue your journey to your destination. It is a matter of
13 you will use the interstate routes at the closest point of
14 your destination, unless it is stated or designated other-
15 wise."

16 And in recognition of that, the State Attorney
17 General of New Mexico ruled that the state must designate
18 routes. It couldn't just simply say that they were included
19 in the supplemental stipulated agreement. And that the New
20 Mexico Environmental Improvement Board was the state agency
21 authorized to designate the routes. The Environmental
22 Improvement Board has undertaken that task. The State Highway
23 Department performed an analysis of the routes, public
24 hearings were held, it will be approaching a year ago. The
25 EIB designated a single north to south route that avoided

1 Santa Fe and Carlsbad on October 12, 1990.

2 We see that route here, which is basically depicted
3 as having come down Interstate 25--I might pause to say that
4 the EIB was interested only in designating a route to serve
5 the WIPP test phase, feeling that it would be five years or
6 beyond before we would have to address other shipments. The
7 route would utilize the interstates down 25 from Colorado
8 until they reached point near Las Vegas where they would jump
9 off on U.S. 84, take the state road 219 and other U.S. Highway
10 84, 285 down to Artesia. At this point in time it would
11 deviate from what was expected from the supplemental
12 stipulated agreement by heading east on 82 and avoiding
13 Carlsbad.

14 I might of at the top pause to say that this route
15 is also different from what was expected from the supplemental
16 stipulated agreement, in that under the SSA we would have
17 taken Interstate 25 all the way close to Santa Fe and then
18 jumped off on U.S. 285.

19 Having indicated or having designated a route, even
20 though it hasn't become official that was different from what
21 was expected in the supplemental stipulated agreement, the
22 Highway Department had objections to that route. They said
23 the designated routes were not designed for heavy vehicles and
24 in particular Route 360, which avoids Carlsbad, was subject to
25 damage from subsidence from the potash mines underneath it.

1 Despite objections from the Highway Department, the
2 EIB met again in December and actually if not refused,
3 actually declined to reconsider the route which was chosen
4 until under further petitioning from the Highway Department,
5 in February it decided to go ahead and reconsider that
6 southern part of the route that avoided Carlsbad and have
7 hearings in May of this year.

8 And that's where we stand. We still don't have a
9 New Mexico route and so it is kind of a trite lesson learned,
10 but I guess the issue here is start early in the hopes of
11 having your route designations accomplished by the time you
12 are ready to ship so that when you are addressing shipments,
13 routes aren't one of the things that has to be brought up.

14 If there are any questions, I'll certainly be glad
15 to address them.

16 DR. CARTER: Let me ask you a couple about the training
17 program. In your various training programs, are there
18 inherently built-in evaluations of the students in each of
19 those by the instructors?

20 MR. LEONARD: If the states request and they have, we
21 will give the students tests. And we consider those tests
22 basically for the use of the state and whether they want to
23 use it for credentials or continuing education purposes or
24 whatever they may be, at the state's discretion, we will give
25 the students tests.

1 DR. CARTER: You don't necessarily feel that those are
2 desirable or necessary?

3 MR. LEONARD: Well, I think we consider them desirable
4 but we still have left the choice to whether or not to give
5 the students tests is up to the state.

6 DR. CARTER: Well, what about evaluations of the
7 instructors? Are these routinely done by the students?

8 MR. LEONARD: Yes, they are. In fact--

9 DR. CARTER: Without the state request, necessarily.

10 MR. LEONARD: When I'm reflecting on the student
11 evaluations and the 82 percent of above average or excellent,
12 that is the overall--we are reflecting on the overall critique
13 of the course, but there are certainly questions within the
14 evaluation specific to the instructors.

15 DR. CARTER: The other thing is is all of your training
16 staff that are involved in the training of the trainers
17 ultimately, are these all full-time and dedicated to this
18 particular program?

19 MR. LEONARD: Yes, they are.

20 DR. CARTER: Now you mentioned table top exercises. Do
21 you ever have actually simulated drills or exercises to
22 essentially orchestrate response and see how the trainees
23 perform under those circumstances?

24 MR. LEONARD: We have had one last November with the
25 State of Colorado called Transax and was pretty highly

1 renowned for having the TRUPACT transporter or at least the
2 road show as we see outside there, for the local responders to
3 respond to an assimilated accident of which there was some
4 damage to the exterior of the package and to have the state
5 response on top of that along with DOE radiological assistance
6 team respondents. That was just the first of what may end up
7 being a series of exercises throughout the states.

8 I'd be letting the cat out of the bag to get into
9 the details of the proposal that Westinghouse has developed
10 for the Department of Energy. And, I'm somewhat reluctant to
11 simply report what has been proposed. If it doesn't end up
12 being funded, or whatever, might be disappointing to the
13 audience to have gotten their hopes up that we will, on
14 whatever basis, have something similar to transact. But
15 certainly, I can certainly address that there is a proposal in
16 the works to have a series of exercises in the corridor states
17 for the very purposes of exercising the training and the
18 planning and that sort of thing.

19 DR. CARTER: Well I personally feel, not speaking for the
20 panel necessarily, that that would be a very good idea. I
21 think, you know you can train people all you want, but you try
22 them under simulated or actual circumstances, sometimes it is
23 difficult to really know how they will respond.

24 The other thing, since the Governors are responsible
25 for the health and safety of their citizens in each state, who

1 normally will be or what agency will have the on-scene
2 commander?

3 MR. LEONARD: That is definitely, if it is not the local
4 government, it is the state government having taken over from
5 the local government. The Department of Energy response to an
6 accident will simply be to provide technical assistance and
7 support to the state.

8 DR. CARTER: Thank you, sir.

9 DR. PRICE: In listening to your route selecting
10 presentation, the question arose in my mind, were any of the
11 selection criteria technical in nature, at least initially?
12 Evidently some of the technical aspects of the adequacy of the
13 infrastructure have been left out. Is your assessment
14 generally that the route selection was on the basis of
15 political considerations or to what extent did technical
16 reasons get into it?

17 MR. LEONARD: I can't really address that directly,
18 because I really don't know what all deliberations, the EIB
19 went under. If I were to reflect on comments they made in the
20 public hearings when they selected the route, for instance,
21 they were addressing minimizing radiological risks to the
22 public and that was their reasoning behind choosing the routes
23 which avoided proximity to both Santa Fe and Carlsbad.

24 DR. PRICE: Did they get into in minimizing the risk to
25 the public the accident experience by segments of highway and

1 so forth and avoid those that had higher incidents of
2 accidents say involving trucks carrying hazardous materials or
3 involving trucks or whatever?

4 MR. LEONARD: There again, I can't vouch for what
5 deliberations EIB went through behind the scenes. At their
6 public hearings they did not address that to my knowledge.
7 They may very well have in their deliberations. I'm just
8 reflecting on when they got up and designated the route, what
9 they were referring to when that was the radiological risk of
10 going through or close to populated areas.

11 DR. PRICE: Thank you very much. All right. We'll
12 switch our presentation mode. We have some additional places
13 and name plates at the table. And bring up the state and
14 independent perspective presenters.

15 Our first presenter is Bob Robison.

16 MR. ROBISON: Good afternoon. I am Bob Robison, that's
17 pronounced Robison, from the State of Oregon, that's
18 pronounced Oregon. I work for the Oregon Department of
19 Energy. I also coach the Western Governors' Association WIPP
20 Transportation Task Force. It is working on many of the
21 details you've heard about so far this morning.

22 On behalf of the ten western states participating in
23 that WIPP Transport Work Group, I want to thank you for the
24 invitation to me with your Board. We are both flattered and
25 honored that our work has caught your attention.

1 Before proceeding with some short introductory
2 comments, I want to introduce my colleagues. Bob Halstead,
3 the person with whom I co-chair the task force is here
4 representing the State of Nevada. Bob's work has lately
5 focused on issues relating to the transport of high level
6 waste to the proposed Yucca Mountain repository. He is on our
7 agenda later today to speak to you from that perspective.
8 But, he agreed to help us with our presentation this afternoon
9 by being available to answer any really difficult questions.

10 Also I would like to introduce Chris Wentz with the
11 State of New Mexico. Chris represents Governor King's WIPP
12 task force and is an active member of our work group. Chris
13 will describe our work as outlined in the report to Congress
14 that we submitted. You've heard about it several times yet
15 this morning.

16 And, to my left is Ron Ross with the Western
17 Governors' Association. Ron is a policy analyst and manages
18 many of the multi-state regional aspects of our project. Ron
19 will describe what lessons have been identified, that we have
20 identified as having learned so far. He will also discuss the
21 organizational work group as we believe it may be useful for
22 other groups considering this question.

23 DR. CARTER: According to the sign he is Rich Leonard.

24 MR. ROBISON: Again, Chris, Bob and myself are from state
25 governments. One of the way you will know that is we do not

1 have any view graphs. However, we want to say that Ron did
2 bring four view graphs, which I think is appropriate, because
3 one of the things that Ron helps us do is bridge the gap
4 between state perspective on these issues and the federal
5 perspective on the issues. Again I think his view graphs are
6 symbolic.

7 I've taken the time to draft out some opening
8 comments. I don't believe my other colleagues will be reading
9 their comments. I don't think it is a very good way to make
10 presentations. Once Ron and Chris are done making their
11 comments, I am also going to take some time to discuss some of
12 the things that we are doing in Oregon having to do with
13 public confidence and public involvement and I won't be
14 reading those. But with that apology, I want to bore you for
15 a few minutes and read a few statements.

16 Western States and your Board share a common
17 interest in the safe transport of nuclear waste. If our
18 national plan for nuclear waste continues on its present
19 course, western states will bear the major effects of that
20 transport. Western states will likely see all the nations
21 shipments. The west is where the majority of road miles will
22 be logged-in.

23 For these reasons, we appreciate your Board's
24 interest in our work. We think that interest is appropriate.
25 I would like to also say that we recognize this as our first

1 discussion between the states and the Board, and we hope it is
2 not the last.

3 Our Governors have given our work group a broad
4 assignment. In a resolution passed in July, 1988, the
5 Governors direct us to "...secure the commitments necessary to
6 reach a high level of public confidence that nuclear waste can
7 be transported in a safe and uneventful manner."

8 There is a couple of things that I think are
9 important in that mission statement, if you will. One is that
10 it talks about nuclear waste, not just WIPP shipments. The
11 second is that our Governors have told us to work on the
12 problem from a perspective of what is necessary to reach a
13 high level of public confidence that the waste can be moved
14 safely. And I think the term public confidence is one I'd
15 like to see us be using more often.

16 Our first step has been to develop complementary
17 state-federal safety procedures of the shipments to WIPP. We
18 recognize clearly that our Governors also expect us to pave
19 the way for the safe transport of high level waste that will
20 begin sometime later.

21 Our work will affect high level waste shipments in
22 at least three ways:

23 First, we are developing safety procedures that will
24 be in place when the high level shipments begin to move. As
25 you will hear later those will involve preventing accidents as

1 well as being prepared to handle accidents. We will be
2 continuously fine tuning those procedures during the WIPP
3 shipping campaign. Some of these procedures are specific to
4 transport by truck, such as the exchange of information and
5 the controls that we have established with USDOE to keep
6 trucks off the road in unsafe weather. But, other procedures
7 will be applicable to high level waste, even if it is hauled
8 exclusively by rail, such as the satellite and computer system
9 to be used for advanced notice of shipments and to track the
10 shipments.

11 The second way in which we recognize that our work
12 is going to relate to high level waste has to do with the fact
13 that we intend to document the lessons learned from the WIPP
14 shipments to help design the high level waste program. Again,
15 our first job has been to get ready for the WIPP shipments and
16 that is what we have been spending most of our time on to
17 date. We will next evaluate our efforts to prepare the safety
18 program for those shipments, and then at the same time we'll
19 be documenting the lessons to be learned. We look forward to
20 working with groups, with other groups, such as your Board in
21 this area.

22 There is a third way that we recognize that our work
23 will affect the high level waste shipments. We recognize that
24 elected officials and the general public will be looking
25 carefully at the WIPP shipments. This is the nation's first

1 underground waste disposal site and these are the first
2 shipments to such a site. Public confidence and the ability
3 to move nuclear waste will be affected by our work.

4 And let me stop to say we understand that and we
5 take that responsibility very seriously.

6 Western states began to work with USDOE on the WIPP
7 shipments in about 1986. This early work was through the help
8 of the WIEB. I had the pleasure of chairing many of those
9 early discussions. We had some successes in those early
10 discussions and I want to underline some. As I recall those
11 early WIPP WIEB sponsored meetings were the forum where USDOE
12 agreed with the states to train emergency responders. This
13 was also where we began to define the content of that
14 training.

15 But we hit a major roadblock early in our meetings.
16 Western states agreed that because these are federal
17 shipments and because the waste result from national defense,
18 that the financial costs to states for our safety work should
19 be borne by the federal government. Said more simply, we
20 asked for money. But we were told by USDOE managers that
21 Congress had not given them the authority to provide us such
22 help. So, we went to Congress.

23 Earlier, Mike McFadden commented on Senator
24 Hatfield's vision back in 1988. The Oregon Department of
25 Energy would like to take a little credit for helping Senator

1 Hatfield shape that vision. Our concern of course is that not
2 only the transuranic wastes that are now in storage at
3 Hanford, but the high level waste that we know are bound for
4 some place sooner or later.

5 In 1988, Congress appropriated \$1 million to the
6 U.S. Department of Transportation to help the seven states
7 affected by shipments from WIPP to Hanford, INEL and Rocky
8 Flats. Those funds were channeled through the WGA.

9 These funds allowed the Western states to draw the
10 blueprint for the states' role in safety. That blueprint
11 became our "Report to Congress..." that Chris will describe in
12 detail. Our Governors handed that blueprint to Secretary of
13 Energy Watkins in the summer of 1988. Secretary Watkins
14 endorsed our report as "hitting the mark", and reversed his
15 department's position on state funding. He directed his staff
16 to help us turn our blueprint into a real safety program.

17 But we like to think that part of Secretary Watkins'
18 decision to work with us may have been based on the straight
19 forward nature of our report. We spoke in plain English about
20 what we could do to enhance truck safety. We avoided the
21 sometimes arcane language of risk assessment and public policy
22 analysis. We spoke in terms of truck safety where the rubber
23 meets the road.

24 We also recognize that our request for federal funds
25 was also quite reasonable. We estimated then that the first

1 seven states could do the job for about \$1.5 million for those
2 first years. We have lived within that budget. We are about
3 to include three other states for a marginal increase in cost.
4 \$1.5 million is not an extraordinary cost for seven states,
5 especially when compared to the projected national cost of
6 managing both commercial and defense nuclear waste.

7 We also recognize that some of the success in our
8 report to our Governors and to the Secretary of Energy Watkins
9 was that our report was also to Congress. We think our report
10 was quite well-received in Congress. We recognize that it may
11 have helped the Department of Energy change its position.

12 Secretary Watkins decision was a major turning
13 point. It addressed our concern about who pays. But just as
14 importantly, it recognized the states as having an important
15 role in safety and we appreciate the Secretary's decision to
16 do so.

17 But we still do not have a clear message from
18 Congress that USDOE must continue to recognize states' needs
19 for ongoing funds. Our Governor's have recommended that
20 Congress send this message to the USDOE in a Congressional
21 Land Withdrawal Bill of the WIPP site for other legislation.

22 Perhaps this question of funding is a message from
23 the high level waste program to be applied to the WIPP
24 shipments. States want clear recognition that they are to be
25 partners to design and implement a safety program. States want

1 clear assurance of ongoing funds that will enable them to
2 remain partners for the full length of the shipping campaign.

3 Before turning the discussion over to Ron and then
4 to Chris, there is one "lesson to be learned" that I wish to
5 speak to. That has to do with the constantly changing
6 schedule and the planned number of shipments.

7 Four years ago I told Oregonians that by today
8 several TRU shipments would be on the road each month from
9 Hanford, throughout the state bound to New Mexico. That was
10 the national plan then. So Oregon began to get ready four
11 years ago. I have had to revise that schedule constantly.
12 Now Oregon is being told that the shipments are still a few
13 years away, but we are not sure when.

14 This constantly changing schedule and the shipment
15 plan creates a very difficult environment for state and local
16 planning. In some states, emergency responders were trained
17 too early. The time is near for retraining, but no shipments
18 have yet to occur. Many of these responders will wonder if it
19 is really worth their time to sit through more training, when
20 all they see is a constantly delayed shipping schedule.

21 Here is another example: Last June I met with local
22 safety officials to discuss parking areas in Oregon. That
23 very same week I learned that Hanford shipments were delayed
24 by at least two years. Available parking areas will likely
25 change a lot in the next two years. So in Oregon we have

1 decided that this level of detail will be addressed within the
2 last year or 18 months before shipping.

3 These constantly changing dates and the constantly
4 changing plan on the number of shipments from each site, makes
5 it difficult to schedule and to plan our work. It also
6 undermines the credibility of the professionals responsible
7 for that work.

8 I am not sure what can be done about fixing a date
9 for WIPP shipments. I am also not pointing fingers at any
10 person or group as having been responsible for the constant
11 delays. Indeed, many of the delays have provided important
12 new information and important time. Decisions about nuclear
13 waste disposal should not be made in haste, or for the
14 convenience of we transportation safety planners. After all,
15 these are decisions that will be around for the next 10,000
16 years.

17 But if there is some way that the nation can fix a
18 date certain for the high level waste shipments it would
19 greatly help those of us responsible for state and local
20 safety programs. I would like to recommend fixing a date
21 certain, and then allowing the states time to work backwards
22 to do our preparedness.

23 I would like to respond to a couple of questions
24 that came up earlier in the presentations in your discussions
25 today. One of those had to do with the study being performed

1 by the Commercial Vehicle Safety Alliance that is addressing
2 the inspection of these shipments.

3 Our WGA has worked very closely with the CVSA. The
4 plan for that study grew out of an organization called the
5 Pacific States Agreement that is an association of the states
6 of Oregon, Washington, Wyoming and Idaho. So I have some
7 familiarity with the purpose of that. The question was asked
8 what is the objective of that study? And, I think it is two.
9 Number one is to develop and test an inspection standard that
10 can perhaps later be applied to high level waste. We
11 recognize that there is significant differences between both
12 the container and the nature of the waste and those
13 differences will have to be addressed.

14 But there is an important second objective in that
15 study, and that is to determine what is the reasonable
16 frequency that inspections should be done. As you heard the
17 discussion earlier this morning, you recognize that these
18 shipments are going to be inspected a lot. One of the things
19 that happens in state government when state legislators and
20 concerned citizens find out that nuclear wastes are coming
21 through their states, is they would like to assure that those
22 shipments are inspected.

23 In Oregon and Colorado we have state laws that
24 require inspections of highway route control shipments. In
25 Oregon we have agreed with the State of Washington to honor

1 their inspection at Hanford. One of the purposes of the CVSA
2 study is to apply some science to the question of public
3 policy. What is a reasonable level of truck inspection? At
4 what frequency and at what rate do trucks--does truck
5 equipment deteriorate and need inspection? We hope to be able
6 to apply some science sooner or later to that question so that
7 the drivers aren't stopping at every state border.

8 There was also a question asked a minute ago about
9 equipment of first responders. I won't speak for all the
10 states, but in Oregon we have provided radiation detection
11 equipment to first responders. One of the things that we
12 find, there is a couple of problems that typically come up.
13 The first problem is they don't know how to set the meter and
14 they don't know how to read it. We've helped them with that
15 through both training and we've made the meters a little more
16 simple by providing some guidance to them to help them set the
17 dial right and read the meter.

18 But the most important thing, quite frankly, in
19 terms of emergency responders having equipment is to provide
20 them technical assistance as quickly as possible through radio
21 frequency or whatever you can so that we can have health
22 physicists on the other end of the telephone helping them
23 understand what they are seeing and how to use that meter.

24 And I bring this up because this has been a somewhat
25 contentious issue between health physicists and emergency

1 responders. And in my belief emergency responders can be
2 trained to use this equipment, and they need adequate backup.

3 With those comments, I'll then turn it over to Ron
4 and to Chris and I'll be back a little later to talk about
5 some of the public involvement work we are doing in Oregon.

6 MR. RON ROSS: Okay, it's my job to dispel the myth that
7 the West comes lean. I've brought view graphs and as Bob
8 mentioned it's always a joke in our group because we know the
9 Feds by the view graphs they carry. So if you will bear with
10 me, I'll try to connect to the mike up here and go through a
11 few things that I think are important.

12 First of all I wanted to tell you that WGA is an
13 association of 21 Governors. Three of those Governors are
14 Pacific Territory Governors and 18 are State Governors in the
15 West. We go as far east as Minnesota and Kansas and
16 Nebraska, and we cover everything, as I said into the Pacific
17 including the three Pacific Islands.

18 The other things that kind of stand out as an
19 organization and that is is that we tend to try to use our
20 states as much as possible. We have seven professionals on
21 staff out of a total group of twelve. Two of those twelve are
22 actually in Washington, D.C., doing a certain amount of
23 lobbying for us. The rest of us are in Denver. We are out
24 here in the West.

25 The other thing is that we tend to use the resources

1 in our states and this is the premise of what you'll see today
2 and why we've got some of our people here today with us and
3 that the states number one, know their needs. They know the
4 issues and they know the resources needed to address those
5 issues. So, from that perspective, Chris will get into his
6 presentation and give you an idea of how our group works.

7 The other thing is is that we view states as a
8 laboratory of how to do things. What is done in one state is
9 tried, if it works then other states pick it up. For
10 instance, Colorado has been somewhat leading in the particular
11 exercises that Chris will be talking about on Transax. Oregon
12 has led in the area of looking at alternatives for expense of
13 alpha meters with attempting to evaluate possible adaptation
14 of standard civil defense meters. In one case, the training
15 will be carried on and the other Bob found with limited use to
16 the civil defense meters and probably will recommend not going
17 that way, although Bob can speak to that specifically and
18 we'll give you some idea there.

19 I would like to quickly, if I figure out how to turn
20 all of this on and quit walking on things. The Governors have
21 adopted numerous policies over the period of about five years
22 or six years that we've been in existence as the WGA. Boiling
23 down, about four of those directly deal with the WIPP program,
24 WIPP transportation specifically. I'd like to go through
25 those quickly with you so you can see where the Governors are

1 coming from. The Governors are actively participating in this
2 process. They have committed to working cooperatively with
3 DOE. They have not chosen to take on the issue of whether
4 WIPP is good or bad, whether the site is good or bad. We
5 assume that shipments will occur and how best can the states
6 deal with that.

7 The cleanup transport and permanent disposal of
8 radioactive waste are vital concerns to the governors. And in
9 fact there will be a meeting in May at the White House to
10 discuss that specific issue. DOE has the overall
11 responsibility for shipments of nuclear waste and the
12 Congress' intent was that DOE in cooperation with corridor
13 states, Western Governors' Task Force on nuclear Waste and
14 WIEB that a national comprehensive transportation plan be
15 prepared.

16 The Governors have gone on record of asking for
17 shipments from all of the western sites indicated here,
18 Hanford, Rocky Flats and INEL during the first five years.
19 Additionally, they ask that DOE cooperate with and fund the
20 states to look at three specific general areas. And what you
21 will see in the report to Congress is that these particular
22 areas are broken out even further to get into some specific
23 issues which are essentially safe transport, emergency
24 preparedness and public education and confidence. The latter
25 part of that, the public confidence is very, very important to

1 the Governors at this point. And I will get into that in a
2 few minutes.

3 And then lastly, is that the Governors are
4 requesting that this program that we are in right now be made
5 permanent. The states must continually upgrade their
6 response, their training, retraining has to occur on a
7 continuing basis. Equipment must be maintained and etc., but
8 states must begin the mode of being able to respond, to be
9 able to provide that public confidence through safe drivers
10 and safe vehicle inspections. And the Governors believe that
11 the best way to do that is through the land withdrawal
12 legislation which is hopefully going to be pending in Congress
13 fairly shortly.

14 Boiling all that down, and Bob basically read the
15 entire paragraph, this is the objective of the Western
16 Governors' Association. That is, the safe and uneventful
17 transportation of nuclear waste and spent fuel from current
18 temporary storage facilities to more suitable, interim and
19 permanent repositories. They feel that this is the key to
20 what we are doing and why the WIPP process as we see it is
21 successful.

22 Quickly give you one more additional item, and that
23 is that generally this is how the organization of what we are
24 doing is organized. This will give you an idea that it is not
25 just a group of staff people operating here. The Governors

1 are reported to at least twice a year at their semi-annual
2 meetings. They have their own task force now made up of ten
3 state governors. The ten states that are involved in the WIPP
4 transport program, with their policy advisors making up a
5 working group.

6 The technical group which Bob is co-chairman and Bob
7 Halstead from Nevada is the other co-chair represent ten
8 states. Additionally, those meetings are open and we have
9 been having a fairly large attendance and a fair amount of
10 participation. We also count upon WIEB to provide technical
11 assistance to us, and we are utilizing, or would like to
12 utilize the WIPP shipments to assist CVSA and CRCPD to
13 evaluate their inspection standards. So we have essentially
14 this kind of an organization in place.

15 To give you one more slide and that will be the end
16 of the slides for right now, I want to tell you who the ten
17 states are. Essentially the DOT grant originally named those
18 states along the corridor from Hanford, Washington to the WIPP
19 site outside of Carlsbad. Essentially, that is this black
20 line here (indicating.)

21 When we negotiated with the DOE, we said there are a
22 couple of things that are missing from that particular
23 designation. One of which there are some shipments now that
24 could be used for test purposes from Lawrence Livermore to the
25 Nevada Test Site. Additionally shipments out of the Nevada

1 Test Site and Lawrence Livermore are in the future and it
2 would be beneficial to everybody if those states were brought
3 in early in the regional process so that when we experience
4 shipments, they will have already been part of the interstate
5 agreements, the inspection standards and the other activities
6 in preparing for the shipments on a regional basis.

7 The report to Congress which makes up the premise
8 basically of what we are doing was funded from the Department
9 of Transportation. It should be on your desks. There is a
10 copy provided to Woody's staff or your staff. So, essentially
11 though, Bob hit it on the head as far as what this report has
12 done. This report was written specifically to be in plain
13 english. It is to be provided to people who are lay people,
14 who are more interested in what we've been calling the sleep
15 factor. If they can sleep at night, the system is going to
16 operate right. And that is essentially what we are looking at
17 here. This report went from the Governors to Congress.

18 Secretary Watkins during our 1988 meeting requested
19 time on the agenda. He came, sat down with the Governors and
20 said this makes sense to me. We basically bounded, if you
21 may, the issues for the western states to those which would
22 support the transportation system, and put them in such a way
23 that the concerns are not only indicated here but also means
24 for addressing those. The million dollars that DOT provided
25 to us for this started the program. Of that the states have

1 planned, the states have worked regionally to put together
2 various kinds of agreements, and also though the states
3 individually have developed their programs to buy equipment to
4 do their own state plans and to initiate public education
5 processes. We have essentially come to that agreement under
6 Secretary Watkins' mandate with the DOE and that is a five-
7 year agreement renewable annually on a work plan basis.

8 What WGA does is we provide an umbrella agreement.
9 Each of the states then provides their own singular work plan
10 of what they are going to do with the funds provided to them.
11 That is approved by the Department of Energy and funded
12 through WGA. What that provides is a couple of mechanisms.
13 One is that it is easy if you make DOE to contract and
14 provide guidance, but it also allows the states to do what is
15 necessary in each of the states. We have states such as
16 Wyoming that have tremendous needs down to the need for
17 radios. And we have other states such as Colorado that are
18 fairly well prepared with emergency response vehicles designed
19 for nuclear kinds of accidents. So those are the kinds of
20 breadths that we are dealing with here. Any program
21 that is attempting to address this kind of a system needs to
22 have that kind of flexibility in it.

23 So with that, I can entertain questions now or you
24 can let Chris talk and then we can all answer questions.

25 DR. CARTER: I just had a request. In order that we will

1 not be accused of favoritism, may we please have a hard copy
2 of your slides.

3 MR. ROSS: You may. I will have to send them to you
4 because I just made them up as we came in last night.

5 DR. CARTER: Thank you, sir.

6 MR. ROSS: Other than the one from DOE, I had to borrow
7 that one.

8 Chris?

9 MR. CHRIS WENTZ: Thanks Ron.

10 First I would like to say on behalf of Governor King
11 and my boss, Secretary Anita Lockwood who chairs the
12 Governors' Wipp Task Force, welcome to New Mexico.

13 I personally want to thank the panel for holding
14 this hearing. I think there is a lot of lessons that can be
15 applied to the OCRWM program from the WIPP program.

16 Some of these benefits that I would like to stress
17 include, we sincerely believe that most of our programs will
18 result in the enhanced protection of the public health and
19 safety. Another item is that a transfer of technology in the
20 adoption of an integration of certain program elements, where
21 it is applicable and appropriate, can avoid duplication of
22 effort and result in considerable economic savings.

23 The final thing is is that we believe that through
24 some of these programs, enhanced public confidence will
25 result. And I think that is very important in these times of

1 DOE's credibility or lack thereof. The key programs that I
2 would like to focus on and give you some of the nuts and bolts
3 on that were outlined in the Governors' report to Congress,
4 focus on three primary areas. And basically my presentation
5 will mirror that which I presented to the Board in the letter
6 of November 30, 1990, the three key areas are accident
7 prevention, emergency response preparedness and public
8 information education and awareness.

9 The first program under accident prevention that the
10 states have established is what we are terming the driver
11 audit program. This is a program that is designed to verify
12 the driver and carrier compliance with all of the applicable
13 state and federal regulations. It will also verify compliance
14 with contract requirements that are in the contract between
15 the DOE and Dawn Enterprises. There are also other
16 requirements that resulted from that contract that are
17 outlined in what is termed the Dawn Management Plan. The plan
18 that the carrier developed for the transportation of the
19 shipments.

20 What we've done in that program is work
21 cooperatively among the states with New Mexico being the lead
22 state and developed a check list of all the different
23 requirements in the contract in the management plant, in the
24 federal regulations. We developed that, circulated it among
25 the states and the DOE, got feedback and have essentially come

1 up with a final check list that everybody agrees is the full
2 program of requirements that the driver and the carrier will
3 have to comply with.

4 What we are going to do then is go out to the
5 drivers and the carriers office and do an audit of their
6 records to see if the drivers are in compliance meeting all
7 the requirements. We are also going to be monitoring the
8 carriers training program both formal and informal training.
9 We've developed a draft evaluation plan for the training and
10 that's circulating among the states and that will be used to
11 determine whether the training program is meeting the needs as
12 the states see it.

13 The next program that we are involved in that has
14 been mentioned is the independent inspection program. This is
15 a program that has the involvement of the OCRWM already
16 through cooperative agreement between OCRWM and the
17 Commercial Vehicle Safety Alliance. This program will
18 essentially involve independent state inspections of the WIPP
19 shipments both radiologically and mechanically. The way it is
20 going to work is the CVSA through that contract has developed
21 a number of committees and let me just name the four
22 committees. There is a research design committee, an
23 inspection committee, a training committee and a data analysis
24 committee. The research design committee developed the
25 overall program on how this inspection program should be

1 handled. That has been turned over now to the inspection
2 committee. What they are going to do is start with the CBSA
3 mechanical inspection procedures and criteria and with the
4 Conference of Radiation Controlled Program Directors draft
5 criteria and tailor that to the WIPP shipments.

6 The idea is that these states will end up with a set
7 of standards that they all accept and will inspect the
8 shipments to. Right now the plan is that the inspections will
9 occur at least at the generator sites and at the destination
10 point at WIPP. They are still working out procedures as far
11 as inspections en route, although it is anticipated such as in
12 the State of Colorado which has a statutory requirement to do
13 inspections that there will be en route inspections.

14 The next program--I would like to mention one that
15 Dr. Carter had asked about as far as waste certification, and
16 as part of this inspection criteria. When the State of New
17 Mexico entered into some of these agreements in the early '80s
18 with the DOE, we recognize the issue that Dr. Carter pointed
19 out about waste certification and how important it is. And we
20 negotiated the right to go to the generator sites and perform
21 independent verification of compliance with the WIPP waste
22 acceptance criteria. Our Environmental Improvement Division
23 which is the State RCRA authority is planning on going up
24 there and doing random periodic verification of compliance
25 with the WIPP-WAC.

1 The other thing that Bob Neill might be bringing up
2 is that this certification committee that DOE has established,
3 it is DOE contractors and basically DOE people. The
4 Environmental Evaluation Group and other independent
5 technical reviewers are accompanying that certification
6 committee to verify compliance with the WAC.

7 The next program involves one of the development of
8 procedures and protocol to address bad weather and road
9 conditions. These procedures focus on several areas. One is
10 the optimization of shipment schedules. We have essentially
11 asked DOE where they can, to schedule the shipments, if
12 possible, to avoid bad weather, winter conditions, sending
13 shipments from a site to avoid rush hour traffic. Things
14 where they can make a difference, we have asked them to look
15 at those things and try to optimize their shipment schedules.

16 The other thing is that the procedures and protocol
17 addresses shipment dispatch decision-making. These are
18 procedures and protocol that would force DOE to look at what
19 weather conditions would be out on the road, say out 200
20 miles, to see if there are such things as tornado warnings,
21 severe wind warnings and things like that. And to make a
22 decision on whether to go ahead and ship from a site.

23 The other thing that these procedures and protocol
24 have established is that we provided fairly detailed contact
25 list for who to call in case there are problems encountered en

1 route. These would include mostly state police and other
2 individuals who would have that decision-making authority
3 within the states to determine where a shipment should be
4 routed, where they should park.

5 Significantly, DOE is now in the process of
6 incorporating all of these procedures and protocol within
7 their own internal system of standard operating procedures.
8 We think this is a significant point that DOE has conceded.

9 The next area involves a system of criteria for safe
10 parking. We have worked with the WGA through the WIEB and
11 basically developed a three-tiered approach to the selection
12 of safe parking areas. This three-tiered approach basically
13 entails pre-designated areas such as Department of Defense
14 sites. These were established by the DOE with the Department
15 of Defense and our various defense facilities where the WIPP
16 shipments can go when they--if they should encounter bad
17 weather and they are free to use these sites.

18 The second part of the tier is outlining generic
19 types of facilities, such as National Guard Armories, Ports of
20 Entry where the WIPP drivers would be instructed to look for
21 these types of facilities.

22 The final thing is the various avoidance factors
23 that we've listed that would include such things as schools,
24 hospitals, poorly lit areas that the drivers would apply this
25 set of avoidance factors and select a place to park that is

1 not in these areas.

2 Another program area that we've focused on has been
3 advance notice and information on shipment scheduling and
4 status. This area involves the TRANSCOM system which has been
5 developed by DOE. DOE has provided the states software,
6 training on the software and in some cases hardware for the
7 system. It basically entails an IBM computer and satellite
8 tracking system. The types of information that is available
9 on the TRANSCOM system, includes shipment schedules. The
10 TRANSCOM system provides advance shipment schedules, seven day
11 advance shipment schedules, to notify the states when these
12 shipments may be coming. It is also going to contain
13 information on the manifest or shipping paper information, the
14 contents of each shipment.

15 The system will largely be used to allow the states
16 to track the shipments within their states and can also serve
17 as an emergency response tool. The states have been reviewing
18 the TRANSCOM system and are providing an analysis of the
19 system to DOE and pointing out where improvements might be
20 made and where the system might better accommodate the states'
21 needs.

22 Recently we have been working with the DOE on
23 procedures to address how the TRANSCOM, if the TRANSCOM system
24 goes down, how the DOE might provide backup notification to
25 the states as far as information on shipments and scheduling.

1 The next area under the general heading of emergency
2 response preparedness involves mutual aid agreements. The
3 states believe that they can significantly enhance their own
4 emergency response capabilities through execution of mutual
5 aid agreements. These agreements have the potential to
6 maximize the availability of both human and physical
7 resources. There has been two types of mutual aid agreements
8 to date. One is for execution between the states, adjacent
9 states and then one for execution between DOE and the
10 individual states. We acknowledge that there is the federal
11 radiological emergency response plan, but most of the states
12 are interested in getting a greater level of detail regarding
13 the timing of a DOE response and the resources that they will
14 respond with. We feel that these mutual aid agreements will
15 take it to that level.

16 Another area that Rich Leonard touched on earlier is
17 the emergency planning and training. Emergency response plans
18 have been reviewed, updated and tailored to address the WIPP
19 transport program.

20 We've also, as he pointed out, we've also gotten DOE
21 to develop a suite of six training courses. These training
22 courses include the first responder mitigation, command and
23 control, medical emergency management course, taught by the
24 RE/ACTS folks out of Oak Ridge, a train-the-trainer course and
25 a course out on the use of certain WIPP emergency response

1 equipment. It's important to note that these training
2 programs were not just developed by Westinghouse and forced on
3 the states. Westinghouse developed these programs initially.
4 They then came to the states, presented to the states, went
5 back and forth with Westinghouse and had them change certain
6 things and then that is the program that is taught. I should
7 also mention that at a meeting of the WGA last year in San
8 Diego, the DOE agreed to bring some of their instructors out
9 to San Diego and walk through a general overview of the
10 course. The WGA commented on those course and recommended
11 some changes into the credit the DOE has or is incorporating
12 those recommended changes in the program.

13 In response to a question earlier today about
14 lessons learned regarding the training, one important thing
15 that we found out is that in the West, somewhere upwards of 75
16 percent of the first responders are volunteers. This has
17 played havoc as far as keeping the training current. So, we
18 have had retraining over the last three or four years.

19 The other thing is is that because they are
20 volunteers there is constraints on their time and also they
21 have I guess a different focus on what training is really
22 important. Do they attend a WIPP training class or do they
23 attend a hazardous materials class that might offer them
24 something on an incident that they might be involved with
25 everyday. So, in this year's training session we are trying

1 to tailor the courses to the volunteer's needs such as
2 scheduling classes on the weekends, in the evenings. We've
3 used some of the federal money that's been available to pay
4 for travel and per diem costs, and things like that to
5 encourage these folks to attend the training.

6 The other important thing that we've been involved
7 with, once we have updated the plans and gone through some of
8 this training to actually test the knowledge of procedures and
9 protocol as far as emergency response preparedness. And this
10 had been down through the table tops and full blown exercises.

11 It was mentioned that Colorado recently had a very
12 large, probably one of the largest field exercises that has
13 been conducted. DOE committed significant resources to
14 participating in this. Various states attended, but it was
15 basically designed to test all of the DOE procedures, protocol
16 and that of the states also.

17 The other thing that Tom Ward touched on today was
18 that the states felt that it was necessary to do a
19 demonstration of a TRUPACT II recovery. DOE did respond to
20 our request and last week, demonstrated that they could
21 recover a TRUPACT II container.

22 On the issue of equipment, I guess one of the most
23 important lessons that we've learned and to DOE's credit is
24 that they recognized that each state has individual equipment
25 needs. So they have structured the cooperative agreement with

1 enough flexibility to allow the states the equipment that they
2 feel is necessary. As Bob pointed out that their state has
3 been providing first responders, radiological monitory
4 detection equipment, other states have not. In the area of
5 equipment, the general categories of equipment have been
6 essentially limited to radiological protection equipment and
7 radiological detection and monitoring equipment.

8 Finally, the last area is public information and
9 education. An important lesson that we've learned is that
10 meaningful early participation among the states and the public
11 is very important. I think you can alleviate a lot of
12 problems down the line or OCRWM could alleviate a lot of
13 problems down the line by involving the states and the public
14 early on in the decision-making process. It can be very
15 painful at times as I'm sure they fully realize. But, I think
16 the benefits far outweigh any of the early costs in that.

17 For our purposes within the WGA, we focused on such
18 things as developing various types of public informational
19 materials. The State of Idaho has developed a video of the
20 transportation system and the various safety programs I've
21 discussed here today. The State of New Mexico has developed a
22 chronology of the WIPP project that traces it from as far back
23 as 1955 with an early national academy of sciences report up
24 to the present time. We've also developed various slide
25 presentations for delivery to the public.

1 We've also taken a look at the Department of
2 Energy's information packet and are reviewing that and
3 providing comments on where we think improvements could be
4 made. As with most of these programs, we've worked
5 cooperatively and disseminated the program outlines and almost
6 all the components of the program out to the various states,
7 DOE and public for a widespread consensus building.

8 The other areas of public outreach and public
9 participation, in the past we've participated with the DOE on
10 what they term public awareness tours. A couple of years ago
11 the State of New Mexico went out on the road to 14 different
12 communities and met with members of the public, elected
13 officials and the general public and were there basically for
14 a day or two days in each community. And were there to answer
15 their questions on an informal basis. The other things that
16 we've done and that many states have are various task forces
17 that have public meetings out along the route for the public
18 to voice their concerns and to solicit input on the various
19 program elements.

20 That essentially concludes the major program
21 elements that we've been addressing. I'd be happy to go into
22 more detail. I know I kind of ran through that fairly fast.

23 DR. PRICE: Okay, that was interesting. Are you going to
24 provide additional comment?

25 MR. ROSS: What we have are two states that will make

1 specific comments. I think Bob has some comments. And
2 essentially what I would like to at least from the regional
3 perspective and from what Chris is saying, leave you with a
4 couple of thoughts.

5 First is that the public officials need to be
6 involved in the process right now, when the decisions are
7 being made as to the direction of the program. That way it
8 can be a consensus as to the direction of the transportation
9 program.

10 Other elements though of the state involvement and
11 corridor states as what I am speaking to here, take place
12 towards the end since there is training. We are finding that
13 training too far in advance, you will lose interest, you lose
14 participation and it creates some difficulties there.

15 Additionally, as you see the people at this table,
16 we are counterparted on Department of Energy. People are
17 empowered to come and make decisions. They represent their
18 governors, DOE sent Susan Denny and Gerald Boyd, headquarters
19 Mike McFadden and Rich Leonard from WIPP. They are able to
20 make decisions. And as you can see they have incorporated
21 many of these things into their training materials and into
22 their public participation and information programs.

23 Second to last is the flexibility of the program
24 which I talked to earlier, and then lastly is that there must
25 be a mutual trading of trust in information. This did not

1 occur prior to the Governors getting involved with Secretary
2 Watkins. It is now a very good information exchange and there
3 is trust between the two. There is no animosity in that
4 typical fight that seems to go on between states and federal
5 government in this particular case.

6 So I'll leave that and Bob, I think you had two wrap
7 up comments?

8 MR. ROBERT HALSTEAD: Yeah, I'd like to make just one
9 general comment on the scope of the state DOE interactions
10 that have taken place with regard to the WIPP transportation
11 planning of data I think stands in contrast to the way that
12 OCRWM has viewed the scope or the proper scope of state
13 interaction in the civilian program.

14 I've been very pleased by the fact that the scope of
15 interaction in the WIPP transportation program has not be
16 limited to emergency response planning and training,
17 particularly the training of which I agree as Ron said a few
18 moments ago is an activity that is more likely to be
19 appropriate towards the end of the planning process as you get
20 near the shipments. And indeed the civilian program at DOE
21 has, I think, correctly argued that to the extent that the
22 civilian outreach program to the states is going to be focused
23 on emergency response planning and training, it should be done
24 later rather than earlier in the planning process.

25 The problem with that approach and this is a problem

1 that specifically applies to the timing of the implementation
2 of Section 180(c) of the Nuclear Waste Policy Amendments Act
3 of 1987, is that it means that the states, the potential
4 corridor states affected by MRS and/or the repository
5 transportation don't have the opportunity to be involved in
6 defining the larger system in all of these components, whether
7 it is operating protocols, the development of the hardware for
8 this system, the development of the risk assessment
9 methodologies, the debate over the extent to which route
10 specific data is necessary for risk assessments and so forth.

11 And I think there is a real lesson for OCRWM to
12 learn--I'm not sure I've communicated it properly, but it is
13 that a strong case can be made based on the lessons learned in
14 the WIPP program that there should be as early and broad
15 involvement of all the corridor states as early as possible in
16 the process. I am not dismissing the work that the Department
17 of Energy civilian program has done through the regional
18 organizations. From an early date they've supported the WIEB
19 and the Souther States Energy Board and I think now they are
20 catching up with this in the midwest, and presumably at some
21 point the northeast will join that as well. Without any
22 effort to diminish the work with those regional organizations,
23 there is a great benefit to having a greater share of those
24 resources go directly to the states and then have the states
25 coordinate their activities on a regional basis and provide--

1 that really provides the basis for a cooperative development
2 of the transportation system.

3 I think that is a real success story, not a panacea
4 by any means, but there is a real success story here in the
5 WIPP transportation planning program. I think there is really
6 something to be learned there in the civilian program.

7 MR. ROBISON: I'm going to make a transition here. I am
8 going to quit speaking from the perspective of the WGA and
9 start speaking from the perspective of the State of Oregon.
10 But, before doing that I want to hit on a couple of themes
11 that you have heard that I want to reinforce perhaps for a
12 third time.

13 When I was first involved with these discussions
14 back in 1986, we seemed to have had an adversarial
15 relationship with the DOE. The states disagree with the
16 department on just about everything. We struggled though a
17 lot if, if you will, positional bargaining where we would take
18 strong stands and would find ourselves finding some common
19 ground and things started to work. Frankly, that was
20 frustrating.

21 I am not a person who--I don't find those kind of
22 adversarial discussions either worth much time or very
23 pleasant. We have changed that. I think Secretary Watkins
24 directed to his staff to work with us to agree with us, to
25 provide us funding and to enable the states to be able to work

1 as partners with the department on the safe shipments of WIPP.
2 It was a very important change. We don't have that anymore.
3 We do--one of my goals as the co-chair of the group and the
4 persons who intends to facilitate the discussions is to create
5 a forum where we can bring issues to the table and work them
6 out. And, we don't leave the room until we work them out.

7 What we found instead of the stone walling we were
8 getting early on in funding, we found that the operational
9 staff down at WIPP as well as their bosses in headquarters
10 have agreed to work with us and to try to understand where we
11 find common ground.

12 The second thing I want to hit to before I change
13 gears here and speak from the Oregon perspective, is this
14 question of clear authorization of state funding. And again
15 I'll say it again. Perhaps this is a lesson to be learned
16 from the high level waste program to apply to WIPP. We do not
17 now have clear statutory authority or clear direction from
18 Congress that the Department of Energy will continue to fund
19 the states.

20 We were told five years ago that that Congressional
21 authority didn't exist. Then Secretary Watkins changed his
22 decision without, it appears, any statutory change. We would
23 like to ask the Department to consider, very seriously,
24 supporting the states' request that Congress make it clear
25 that the states will be enabled through funding for ongoing

1 involvement, and as a partner in a partnership for the safety
2 of the WIPP shipments for the full 25 years of that shipping
3 campaign.

4 With that, I will change gears. Now I am speaking
5 from the perspective of the State of Oregon. What I would
6 like to do is talk a little bit about some of the public
7 involvement programs we've been doing in Oregon. Please
8 remember that our Governors' charge was three-fold. Now they
9 told us to make sure that the shipments were safe and to make
10 sure that we did what was necessary to prevent accidents and
11 to make sure we did what was necessary to handle an accident
12 if it came along.

13 But, there is a third component in that and that had
14 to do with the question of public confidence. And it is
15 important, I think, that we recognize that given the nature of
16 the problem that we are addressing here in this country,
17 public confidence is not 30 percent of the problem. It's not
18 a small piece of the problem. In fact I would venture to say
19 at least from my personal opinion it is at least half the
20 problem we are looking at.

21 I am not an engineer, but based on my experience in
22 hazardous materials transportation safety and my look at the
23 transportation nuclear waste, in my personal view, I think we
24 can transport this stuff safely as a nation. Not everybody
25 agrees.

1 The problem of public confidence in transportation
2 gets mixed up with the question of the Department of Energy's
3 management of the waste program. Not only the commercial
4 program, but the defense program.

5 Speaking as an Oregonian, we have a real mess up at
6 Hanford. We have high level radioactive waste in tanks that
7 was not built to contain high level waste for as long as they
8 have been there. We have waste in those tanks which has the
9 potential of exploding. We are real damn mad about that. And
10 we would like to see that mess cleaned up. We have
11 transuranic waste that is in trenches which was not built to
12 dispose of transuranic waste. The drums are beginning to rust
13 and they are going to sooner or later head for ground water.
14 Now the ground water is going to potentially contaminate water
15 that will be used by Oregon farmers and it could potentially
16 contaminate the Columbia River.

17 We in Oregon remember a legacy of the Columbia River
18 being the most radioactive river in the world when the early
19 production reactors were single pass-through reactors. Let me
20 say it again, speaking as an Oregonian, we want Hanford
21 cleaned up and we want it cleaned up as quickly as possible.

22 We recognize that shipping waste out of Hanford is
23 part of that process. So, we recognize the need to work with
24 the public on their confidence of our ability to ship that
25 waste out.

1 I am trained as a community organizer. Early on in
2 our project, looking at Hanford cleanup, my boss came to me
3 and said, one of your assignments is going to be to go out and
4 work with the communities in eastern Oregon through which
5 these shipments are going to take place, and work with them on
6 the confidence of the USDOE's ability to transport plutonium
7 through their downtowns. I asked my boss if it wouldn't be a
8 little more--if it might not be more acceptable to him that I
9 might sit around at my desk and hit myself on the head with a
10 balpine hammer.

11 As a community organizer I recognize that an
12 important thing to do is to find yourself on the right side of
13 an issue. Supporting the safe transportation of nuclear waste
14 is not an easy issue to take. My boss didn't give me the
15 option of not doing it, he told me to get out there and do it
16 and so we did. Frankly, I found it to be a difficult
17 process, but one well worthwhile.

18 One of the reasons I want to talk about the public
19 involvement program we are doing in Oregon is that it is
20 funded in part by civilian and high level waste funds. We
21 requested--we suggested to the department that they use they
22 TRU waste shipments and they use Oregon as a potential
23 laboratory to demonstrate and to look at some questions of
24 public confidence on nuclear waste transport. So, I think it
25 is appropriate that Oregon speak to you about our work.

1 Basically what we are trying to do is to test and
2 evaluate formally a belief that we have. That belief is a
3 meaningful public involvement in decisions will result in
4 better decisions, a safer system and will enhance public
5 confidence. Mike McFadden said earlier that he has learned
6 that as the USDOE has engaged the states in the discussion
7 about safety, it has resulted in a safer system. I would like
8 to take that one step further. From a state perspective I
9 think I have learned that engaging the public in those
10 discussions also gives you a better and safer system. Again,
11 we are trying to formally evaluate our belief in that.

12 Our program consists of four elements. The first
13 element is formal input through an advisory committee and
14 through town meetings. Our second program component is a
15 transportation safety plan. Our third program component is
16 public survey work to better understand the public's concern.
17 And our fourth program component is public information, a
18 formal public information program. Now, I will speak to each
19 of those four elements very quickly.

20 First, our advisory group. You have before you a
21 copy of a report and I would like to ask you to notice that it
22 is dated in December of 1988. This is before we became
23 involved in the WGA group and drafted the report to Congress.
24 It's based on our belief that we would take the message and
25 the concern to Oregonians quickly. Our advisory committee was

1 made up of representatives from the following kinds of groups:
2 The Oregon Environmental Council, the Sierra Club, the League
3 of Women Voters, the Chief of the LaGrande Fire Department was
4 involved in our group, the Sheriff of the City of Baker was
5 involved in our group, the Oregon Trucking Association. This
6 report and these recommendations have also been reviewed by
7 then Secretary of State Barbara Roberts, now our Governor.

8 What I think is important in this report and I would
9 strongly encourage you to take a look at it later is that it
10 is reasonable. We brought together a well balanced mix of
11 people who had different perspectives on the problem. Again,
12 I told my boss early on that I wasn't looking forward to going
13 to the towns in Eastern Oregon and talking about the safe
14 transport of plutonium through their communities. I was
15 concerned that we would get some odd ideas.

16 What I found was just the opposite. If you read
17 through these recommendations, they are not crazy, they are
18 not silly. Many of them are quite sound. And let me
19 emphasize again that these are recommendations that were made
20 before we became involved in the WGA group and they are
21 recommendations that have been not only, if you will,
22 discovered by the people of the State of Oregon, but
23 reinforced by safety officials.

24 Some of the important ones I think I would like to
25 ask you, as you read through it, to recognize is that

1 Oregonians found that the risk of transporting nuclear waste
2 could be acceptable, especially given the benefit to be gained
3 by cleaning up Hanford. They also discovered that winter
4 weather was a serious problem in the west. If you leave
5 Pendleton Oregon, you go up over the Blue Mountains. The Blue
6 Mountains have some pretty severe weather. The winter before
7 last, the snow was so severe that trucks got stuck in the city
8 of LaGrande for as long as a week. The people along the route
9 asked us to work with the DOE to make sure that the nuclear
10 waste trucks don't find themselves in the same predicament.

11 The people of the State of Oregon also understood
12 the importance of inspections, the importance of emergency
13 readiness and that there is emergency readiness not only for
14 nuclear waste shipments but for all hazardous materials is now
15 incomplete. And you'll notice in those recommendations a
16 finding on the clear identification of the trucks. They
17 asked that the placards on the outside of the truck be retro-
18 reflective and to the extent possible fire retardant.

19 It is with some irony that I recognize that Congress
20 just directed the DOT to do some work on the question of
21 placarding. The people of the State of Oregon again were
22 ahead of the federal government on the issue.

23 There are however, and again I want to make clear
24 that I am speaking from the perspective of the State of
25 Oregon. There are some unresolved issues that are pointed out

1 in these series of recommendations. People in Oregon would
2 like to see the trucks traveling down the road in tandem.
3 That means two trucks together. That has not been an issue
4 that we put on the WGA's plate, because we thought out first
5 priority would be to work where we have agreement.

6 We have exchanged several letters with the
7 department. The answer we've gotten as I read it is that
8 tandem shipments are inconvenient because the unloading
9 procedure at WIPP is geared towards unloading one shipment at
10 a time. And if another truck is sitting around idle while
11 that one truck is being unloaded that it won't be a good use
12 of resources or good use of that transportation equipment.
13 They argued that the perceived safety benefits do not outweigh
14 that inconvenience. I'm not sure I agree quite frankly. And,
15 I think there is some work to be done.

16 I want to make it clear that Oregon is not taking
17 the strong position that the shipments must be made in tandem,
18 but we are not sure the debate is over. We think that there
19 might be some safety benefits made from those trucks going
20 together. And if not, I can tell you for one thing in Oregon,
21 there will be some benefits in terms of public confidence if
22 those trucks go together.

23 The other recommendation that you will find in here
24 that I am not satisfied with our discussions with the
25 department has to do with--well I'll just read the

1 recommendation. The results of the cask test should be
2 extrapolated to the failure points to determine the margin of
3 failure. That was a recommendation that again came from our
4 advisory committee.

5 The discussions that I have had with cask engineers
6 is they have meant the regulatory requirements of the nuclear
7 regulatory commission. They have demonstrated the cask will
8 withstand the tests. They have demonstrated the cask is safe
9 enough. They are reluctant to go the next step of saying,
10 well at what point will the cask fail. And as I can read
11 their comments are for two reasons. Number one, that is
12 difficult engineering. I am not an engineer and quite frankly
13 sometimes the difficulty of the engineering I don't
14 understand.

15 But I would like to suggest there is a second reason
16 why they don't want to do that work, and that is that they
17 would be tipping their hand that yes, there might be a
18 situation in which the cask would fail. I believe it would be
19 important as we go forward training emergency responders that
20 we start talking about under what circumstance that cask might
21 fail. I think we will find that emergency responders have a
22 very sound, intuitive sense about safety. These are indeed
23 the people who go into burning buildings and who respond to
24 other truck accidents involving other hazardous materials. I
25 think if we told them the kinds of crash forces that would

1 result in a cask failure, they would understand that. And
2 they would understand the concept of acceptable risk. So
3 again, speaking from the Oregon perspective, I'm not satisfied
4 with what we've gotten so far on that question of where the
5 cask fails.

6 The second component of our public involvement
7 program has to do with the transportation safety plan. We
8 have held back in Oregon on some of the details of that plan
9 because we know that shipments aren't going to be made for a
10 couple of years yet. Again things like parking, things like
11 training, things like distributing of equipment, we believe
12 should be done closer to the time of real shipments. There
13 are some important issues that have to be resolved in Oregon
14 before shipments occur. Those have to do with upgrading the
15 general level of readiness for hazardous materials.

16 The third component of our public involvement
17 program has to do with public surveys. We have conducted--
18 last July we conducted a survey of public attitudes about
19 nuclear waste. We did that for two reasons. First we wanted
20 to establish a baseline that we could use to evaluate the
21 effect of our public information program. Again, our belief
22 is if we take the question to the people of Oregon we will
23 enhance public confidence. This was our baseline test. We
24 will later do further public surveys to see if we have made a
25 difference.

1 The second reason we did the survey was to find out
2 if the kinds of recommendations that you have before you that
3 came up from our advisory committee, are indeed the kinds of
4 recommendations that the public has.

5 We found a couple of things that we didn't get from
6 our advisory committee. Oregonians are concerned about
7 economic stigmatization of their region along the route. I
8 want to point out that not only do we have a problem at
9 Hanford in eastern Oregon, we also have at the Umatilla Army
10 Depot the incineration of Army nerve agents that is going to
11 be of concern. We are also talking now about shipping nuclear
12 waste. They are concerned that people are going to find their
13 food products and their tourist opportunities not very
14 attractive. It might be considered a region of danger.

15 We also found something different than our advisory
16 committee concluded or that we as staff concluded. Again, we
17 have concluded that the risks of transporting the TRU waste
18 outweighs the benefits--is outweighed by the benefits of
19 moving the waste out of Hanford. Many people along the route
20 don't believe that. In fact, 56 percent found that the
21 transport risk to be greater than those of leaving the waste
22 at Hanford. We've got to disconnect between those of us who
23 are looking at the question seriously, and those who live
24 along the route.

25 But we found some other things. We found that

1 opinions aren't set, that people are open to new information.
2 We also found that opinion leaders are more concerned about
3 this than the general public. I'm not going to go into great
4 detail about the other things we found in our public survey.
5 We have some reports available and we'd be happy to make those
6 available to you. Quite frankly it is an area of thin ice
7 that I am not very comfortable venturing out on. Interpreting
8 public surveys is very tricky stuff.

9 We contracted with the Oregon State University's
10 survey research center who has experience in designing those
11 surveys. We also contracted with Decision Research, a firm
12 out of Eugene, Oregon, in the analysis of that data. We've
13 retained Dr. Slovak and Dr. McGregor to help us with that.
14 Those are names as you may know that are involved in this
15 question. In further discussions we'd be happy to talk to you
16 about what we found about what Oregonians believe.

17 The fourth element of our public involvement program
18 is public information. And I want to stress that that is the
19 fourth element and not the first. We are not talking about
20 public education, we are not talking about public information,
21 we are talking about public involvement. We are talking about
22 meaningful dialogue with the people who live along the route
23 to get the kind of recommendations that we've got there. We
24 believe strongly in Oregon that we will find the public
25 reasonable. We will find that they will help us enhance the

1 safety program.

2 But we are also going to take the time to let them
3 know what we are doing. We are going to talk about cask
4 safety. We are going to talk about the extraordinary things
5 we are doing for these shipments that are being done for other
6 hazardous materials. We think that will make a difference.
7 We are just now beginning that work. We thought it honest, in
8 fact we were strongly directed by our advisory committee to do
9 so, to first get our safety program in order before we started
10 to talk to people about how safe it is.

11 That's the Oregon perspective.

12 DR. CARTER: I have a couple of questions. Several of
13 you have mentioned of course about the way the DOE program
14 used to be and problems with it. I'd like to put it in
15 perspective of the moment. Is there general state
16 satisfaction for example with the WIPP transportation program.
17 Certainly Bob from Oregon has mentioned some specific
18 questions. I would like to get a response from the three
19 states that are represented here. They are certainly some of
20 the key states involved in this transportation as far as WIPP
21 is concerned. And I guess I would also like to ask Ron
22 perhaps if he would address the question whether some of the
23 other states that are not represented here, namely some 18 of
24 them in the Western Governors' Conference, whether you three
25 truly reflect the views of those states or whether there is

1 some that are unusual or anomalous compared to yours. I'd
2 like to start out with those two questions.

3 MR. HALSTEAD: I'll give you an easy, quick answer, Dr.
4 Carter. I think that whatever the other problems between the
5 DOE and the State of Nevada, we are very well pleased with the
6 way that this program has gone to date. And I say that also
7 from the standpoint of a state that has not received any money
8 yet for being involved with this. As you know, our WIPP
9 shipments are further down the line, or certainly not likely
10 to occur in the next five years. So, in some ways we've
11 perhaps been able to more objective, since we are not as
12 immediately affected by this, and yes, we see a lot here that
13 we think should be the model in developing the civilian
14 transportation program.

15 DR. CARTER: So what you are saying, if you had some
16 money, you'd be ecstatic?

17 MR. HALSTEAD: Money is not our major problem right now.

18 DR. CARTER: Chris?

19 MR. WENTZ: Yes. Dr. Carter, I'd echo what Bob just said
20 that in dealing with DOE on a lot of other issues relating to
21 Los Alamos and the other programs, we found them to be more
22 flexible with this transportation program than almost any
23 other program. I think some of the concessions that they've
24 made that I ran through too quickly, indicates their
25 flexibilities things like changing from the TRUPACT I to the

1 TRUPACT II design, accepting the procedures and the protocol
2 that we developed for shipment dispatching for shipment
3 scheduling and decision-making. Incorporating those type of
4 procedures and protocol that the states developed into their
5 own internal standard operating procedures is a significant
6 move on their parts.

7 And there are other examples. Again, the training,
8 they didn't just to meet the commitment to the State of New
9 Mexico to provide training, they didn't come in and try to
10 force this program down our throats. They presented us a
11 program, allowed us to make quite a few changes, and then
12 would go out to the locations at the dates and the number of
13 times we wanted the courses taught and presented that along
14 the route. So, they have been very flexible I think in a
15 number of these areas.

16 MR. ROBISON: Our task force met last week here in
17 Albuquerque. Mr. Halstead explained to us what a prestigious
18 and important group you are. And if you will, we spent some
19 time very carefully discussing what should be our message to
20 you and what should be the tone. I think the consensus of
21 those states, I don't think it was, the consensus of those
22 states was that our tone and our message to you should be that
23 we have indeed turned the corner in preparing for these WIPP
24 shipments. We have created a form where we are working
25 together to solve problems. I want to also emphasize that I

1 don't want to over-emphasize the importance of money. We are
2 not just for sale.

3 Money is the thing that enables us to work as
4 partners. It costs money to travel to meetings. It costs
5 money to have trucks inspected. It costs money to organize
6 training programs. The money is secondary. The commitment
7 from the Department that we have seen from the WIPP
8 operations folks and from their headquarters to work with us
9 as partners has been real and we are pleased that we could
10 turn that corner.

11 DR. CARTER: Well, of course, we didn't realize that Bob
12 Halstead had done that and we appreciate it very much. But in
13 Nevada everyone should know that that is called being a skill.

14 The other part of the question now was whether or
15 not you three states, the three states represented here are
16 essentially in concert with the other 18 states in the Western
17 Governors' Conference.

18 MR. ROSS: Well I think first of all, Dr. Carter, I think
19 the states here represent essentially the breadth of the
20 states involved, New Mexico of course being the host state for
21 the WIPP facility and there are resources there that are not
22 available to the other states. Oregon being a state on the
23 route from Hanford, we are hoping to see some shipments within
24 the five-year test period there, and Nevada a little further
25 down the road.

1 I think what I would like to do is reiterate what
2 Bob Robison has said. We have in the last three years turned
3 a major corner. We are still adversaries in that we take our
4 roles of states very seriously with the federal government
5 taking their role very seriously. But, I think that we have
6 come to the table to solve the problems. And I think the key
7 here is that we have all agreed that here is a bound set of
8 problems we can solve.

9 From the other states perspective, I think that they
10 would agree with that. We have gone that far and there is a
11 ways to go. I think that we will continue to do the battles
12 to get us to where there is a system that operates as
13 effectively as the current trucking system in this country for
14 say other hazardous materials. I tritely go out on a limb and
15 I'll do it again on two counts. One, all the states agree
16 that probably the second or third person called in any
17 accident involving TRU waste will be the Governor's office.
18 The Governor can confidently say I know what is going on, we
19 are prepared and we've worked with DOE and it is handled and
20 the whole thing goes without incident, whether it is a flat
21 tire or cask on its side. The other part is is once the
22 citizens have a comfortability factor equal to that with what
23 they have with gasoline trucks today, I think we've managed
24 the system on the public confidence side that we can be proud
25 of.

1 So, essentially what I am saying is that we have
2 turned the corner, we've got good dialogue, we've got great
3 cooperation, the states are making progress as is DOE, but
4 we've got a ways to go yet. So, essentially that is wrapping
5 up what I see in your question.

6 DR. CARTER: Okay. I am personally very pleased to hear
7 this. Normally we hear other kinds of problems as far DOE
8 relationships are concerned. So, I can say I am personally
9 pleased to hear this.

10 Let me ask you another question about your report to
11 Congress. It's almost two years old. And I guess the
12 concerns that you expressed here and the recommendations are
13 still pretty much current. And, I've not had the opportunity
14 to look at it of course. Or, do you anticipate for example
15 upgrading or putting out a new report sometime in the future?

16 MR. ROSS: There is works this Spring to re-evaluate this
17 report. I'll let others comment, but essentially the overview
18 is that we have achieved some things that were outlined in the
19 report. Those can be put on the table as being achieved.

20 There are some new things that have surfaced. Those will be
21 added to the report and then the status given on those things
22 remaining to be done. So, yes, this report will be revised.
23 We are anticipating July being the date for that release.

24 Additionally, next year we are looking at putting
25 together a process which will look at evaluation. We've spent

1 all of our time getting ready right now because of the crisis
2 in which we had to do that in anticipating shipments two years
3 ago. We are now ready and so now we are going to look at the
4 evaluation process. So, those two things are in the works as
5 a regional effort.

6 Bob, did you have something to add to that?

7 MR. ROBISON: Nothing to add. I just want to reiterate
8 that we are--our first priority was to meet the requirements
9 that we set out for ourselves in terms of helping the
10 Department to prevent accidents and then handle accidents. We
11 believe we have met those. Our next step will be to evaluate
12 ourselves on how well we've done. We are now discussing
13 program evaluation and how to evaluate what we had in that
14 report. And as Ron said we will be drafting the report to our
15 Governors about how well we've done with that.

16 We have concluded that we are ready for the
17 shipments. We've also concluded quite frankly that emergency
18 preparedness is an ongoing process. We are never done with
19 it. We are going to be continuing to upgrade our

1 other subtlety in the report that I would like
2 to comment on and that is if I had it do over again, I would
3 put a work program in there, work element that has to do with
4 exercises. We've been dealing with it as a subset of
5 training. You discussed it earlier. It is my strong belief
6 that as an emergency planner that exercises short of real
7 accidents, in fact I'll say even better than real accidents,
8 are the best way to demonstrate your readiness. It's the best
9 way to demonstrate that the equipment works, that people
10 understand their training, that they understand their
11 procedures and that at a local level the hospital and the
12 sheriff and the fire department and the local police
13 department can all work together to handle an accident.

14 We look forward to working with DOE and Westinghouse
15 as they unveil the secret plan on emergency exercises. We
16 think that is very important.

17 DR. CARTER: Thank you. The other question I had, is
18 since you folks are on the firing line in dealing with the
19 members of the public in this area as well as many others, do
20 you see any change as far as the public attitude or the public
21 understanding as far as transportation in this case mixed
22 waste or the particular radioactive side of it. Is progress
23 being made or are we just spinning our wheels?

24 MR. WENTZ: I think there is progress being made. I
25 think we could all do a little better job on public

1 information, education and involvement in that I do think some
2 points are relevant though that there is the faction out there
3 that this is the first of its kind in the world, geologic
4 disposal, and what is being done here is going to set a
5 precedent for the high level waste repository and for waste
6 disposal options in other countries. And there are folks out
7 there that are not going to budge as far as acquiescing to the
8 geologic disposal. And so I don't think those attitudes are
9 ever going to be changed. And I don't think that we really
10 try to change them.

11 The tack that most of us take is that we are going
12 to try to make this as safe as possible. And the only way
13 that we can proceed along the lines of what you said earlier,
14 that it is the primary responsibility of state government to
15 protect the health and safety of the public and that is the
16 key thing that we have to proceed as if WIPP is going to
17 happen and take every precaution to protect the public.

18 MR. ROBISON: In five years I would like to be able to
19 answer your question with real data. You are an engineer and
20 you are a scientist, you understand data. That is the purpose
21 of what we are trying to do in Oregon. We surveyed the public
22 as a baseline. We are shortly going to start providing public
23 information. We expected that we would have TRU waste on the
24 road by now. I think quite frankly, running some trucks down
25 the road is going to be part of the demonstration that will

1 change public attitudes.

2 Given the opportunity I would like to come back in
3 five years and talk about what we found.

4 DR. PRICE: Is there a sampling of public confidence
5 going on elsewhere, for example in New Mexico?

6 MR. WENTZ: We have had some public opinion polls
7 conducted. It was interesting to note and I don't have the
8 figures, but along the lines of 58 to 65 percent said that
9 WIPP is not safe now, but could be made safe with some
10 changes. The poll didn't specifically address transportation,
11 but some of those are planned in the future.

12 DR. PRICE: Who conducted the poll?

13 MR. WENTZ: This was a group out of the University of New
14 Mexico, called the Institute for Public Policy, the director
15 of that is Dr. Hank Jenkins-Smith.

16 MR. HALSTEAD: Now, I wish I had something positive to
17 say on that, but one of the concerns I do have and I
18 differentiate public opinion as opposed to official opinion on
19 this, and I think we see the best or worst example of this in
20 the reaction nationally to some of the problems associated
21 with some low level waste facilities. I feel there is still a
22 tendency on the part of the general public to confuse all
23 radioactive materials in transit and to be excessively
24 concerned about those which most of us in the business see as
25 being of lesser hazard.

1 That is something we really have to do some thinking
2 about. I know Woody and I have talked about how to--without
3 it in any way diminishing people's appropriate concern about
4 certain types of hazards to educate them so that they at least
5 have some sense of knowledge of the different hazards
6 associated with different materials.

7 DR. CARTER: I completely agree that this particular
8 thing, the differentiation gets blurred as far as the public
9 is concerned.

10 MR. ROSS: One of things I might reiterate is the State
11 of Colorado is working very hard at trying to sample this and
12 trying to differentiate the public versus the political
13 opinion. I think that the political opinion is being worked
14 on now. We can educate those people. But until we see
15 shipments going down the road safely in whether a limited
16 number or in large numbers, until that is demonstrated to some
17 satisfaction, I think it is an open question. Although we are
18 continuing to work with the states to try to sample that for
19 you.

20 MR. WENTZ: I do think an important aspect of our program
21 is that we are going to have to do better job of getting the
22 word out is, and I don't mean to do any DOE bashing here, but
23 since this is the first new facility that DOE has brought on-
24 line, they are carrying a lot of the baggage that is
25 associated with the problems at all the other DOE sites, that

1 we hear at Hanford and that--and so I think an important part
2 of our program is stressing that we are not taking it on DOE's
3 faith that these things are going to run smoothly and
4 everything is going to be okay. That we are doing
5 independent inspections along side the DOE personnel doing
6 these audits, you know, instituting our own programs to verify
7 the safety of these shipments, and I think that can go along
8 way to building public confidence in the shipping campaign.

9 MR. ROBISON: Dr. Carter, I told myself before doing this
10 that I would not venture out on that thin ice of telling you
11 what we found in our survey in great detail. If it would be
12 of interest to you I can give you some highlights though.

13 DR. CARTER: Yes.

14 MR. ROBISON: Again, our survey was a baseline. We will
15 measure the change later. We found that people basically
16 don't like nuclear waste. One of the questions on our survey
17 is a word associated question, "What do you think of when you
18 think of nuclear waste?" Overwhelming the responses were
19 negative. Words like dangerous, death, contamination, these
20 were words that came out. People don't like nuclear waste.
21 Forty percent of the people in Oregon believe that nuclear
22 waste transport will have a harmful effect on them personally.
23 I think that is significant. That is 40 percent of the
24 population think that those trucks might hurt them.

25 Seventy-seven percent of the people along the route

1 through Oregon, believe that the shipments would have harmful
2 effects on their region. Again, these are economic effects.
3 On the other side of the coin, and again, what we found was a
4 mixed bag, was that 54 percent of the people think that
5 nuclear waste can be transported in a way that is acceptably
6 safe. That was a positive finding that we've got at least
7 half of the population to work with from a base standpoint.

8 We asked people to help us evaluate the
9 precautionary actions that you see in our recommendations from
10 the Hanford Advisory Committee and mirrored in our report to
11 Congress through the WGA. We found that things like exceeding
12 regulatory requirements and drug testing for the drivers,
13 choosing prudent drivers, having controls in place to avoid
14 shipping during road and weather, were generally seen as
15 positive things. People expected that to be done and they
16 were pleased to see that.

17 We also found that there were some things that the
18 public didn't expect or tended to see as enhancing the dread
19 aspect of these shipments. They don't necessarily think they
20 are going to be escorted by police. We tend to agree with
21 that. We don't think a police escort does a whole heck of a
22 lot of good. I will say again that we believe that tandem
23 shipments might get us a ways down the road.

24 There was a surprise for me. I had always assumed
25 that having first worked with hazardous materials and then

1 later worked with radioactive waste and finding if you will
2 the vitriolic response that some people have to the concept of
3 nuclear waste, that the general public perceived nuclear waste
4 as being more dangerous and hazardous materials. We didn't
5 find that to be the case. We found that if people were asked
6 to judge personal risks, they tended to cluster the transport
7 of toxic and explosive materials along with radioactive waste,
8 along with motor vehicle accidents and the threats of chemical
9 pesticides in the environment.

10 We also asked the questions about levels of trust.
11 Who can be trusted to give you straight information about
12 nuclear waste. What we found was that way up at the top of
13 the list were environmental groups. And I think that is
14 significant, because I think the public doesn't see
15 environmental groups, if you will, a vocal minority, but
16 rather listens to what they have to say.

17 We found that on a scale of 1 to 10, environmental
18 groups were finding an average of about 6.3 on that scale.
19 Shortly behind them were the drivers and state agencies who
20 clustered together. Are our drivers still in the room? They
21 should know how important the public perceives their prudence
22 and their judgment in moving these shipments down the road.
23 At the bottom of the list were the industries that produced
24 the waste.

25 DR. PRICE: Has there been any discussion among the WGA

1 on the issue of demonstrating things to the public in order to
2 enhance public confidence such as was done with spent fuel
3 casks in the train crash in England and also some of the other
4 things that have been here at Sandia? Doing that in some sort
5 of a way for the purpose of enhancing or improving the concept
6 of the public?

7 MR. HALSTEAD: We really haven't gone that far in the
8 program, Dr. Price, I think to actually do those, although I
9 don't know about the other members, I plan to give some advice
10 to the Westinghouse and DOE people on ways to utilize the
11 documentation from the TRUPACT testing for just this purpose.
12 But I would draw a very sharp distinction, and I am glad that
13 this came up, because I want to talk about it again in my
14 later remarks. Good public relations video footage in our
15 opinion is footage that is honestly done to demonstrate
16 compliance with regulatory requirements. I think it must be
17 acknowledged that the British films have not been shown widely
18 in this country and if you know the background, some of which
19 is addressed in the report I've provided you, that Dave
20 Snedeker provided for us, that was strictly a public relations
21 effort. I would argue against that.

22 I would similarly argue against the use of the old
23 Sandia test films. Not because those tests were not of value.
24 If you read the technical reports at Sandia Transportation
25 Technology Center, the reports are excellent. And the

1 reports were very--the tests were very useful for their
2 limited objectives and particularly in light of the
3 constraints on the resources available to be tested. That is
4 exactly what we shouldn't be doing, because those tests could
5 not be precisely measured.

6 You've heard Conan Furber argue from the railroad
7 standpoint about the lack of credibility that those tests have
8 with PhD engineers. You'd probably know about the comments of
9 Ludwig Benner who was head of the National Transportation
10 Safety Board, Hazmat Division at the time, said he thought
11 that they were terrible and were the wrong thing to do,
12 because they looked spectacular on film and not because they
13 actually proved the point.

14 You know, I'm just speculating my own opinion and
15 based on discussions with people in my own office in terms of
16 what we would like to see for the civilian program. A type of
17 documentation that really carries weight and does not fuel
18 further debate, seems to us the type of documentation you get
19 when you subject four TRUPACTS to a dozen drop tests, 21 pin
20 puncture tests, four fire tests and you honestly acknowledge
21 the lessons that you learned in the testing process that you
22 fed back into the design and that you end up with a package
23 that even a person who approaches this very critically and
24 skeptically can say, yes, this is the kind of documentation
25 that we want to show.

1 I think that is a really extraordinary development
2 to come out of the WIPP transportation program relative to the
3 work that has been done in the past. And I notices when both
4 Mike and Phil were talking about the testing effort earlier,
5 they had listed up there on their list of things you
6 accomplish through testing was public perception. I believe
7 there were good technical reasons to conduct those tests, some
8 of which may not be directly transferable to spent fuel casks.
9 But in this case, because of their non-homogenous nature of
10 the contents of the TRUPACT and that the difficulties in
11 modeling heat flow. Particularly, I think there were some
12 special reasons that the NRC wanted them tested. But, boy, I
13 think that public perception argument is a real powerful
14 reason in and of itself and I am really glad they did those
15 tests. It makes my job a lot easier when the time comes for
16 these WIPP shipments to start in Nevada.

17 DR. PRICE: Has this information that you have just been
18 cited as the desirable kind relative to WIPP, been actually
19 presented adequately to the corridor states and to Nevada as
20 far as you can tell?

21 MR. HALSTEAD: I find it peculiar, and maybe there is
22 literature I don't know about, but the piece of literature
23 that I know about is the skinny little report that I gave you
24 that we commissioned from the State of Nevada in which we are
25 highly impressed by and positive towards these tests. And

1 admittedly we feel that it is a benefit to us to use that as a
2 precedent to encourage similar testing in the OCRWM program.
3 But, I would say no for the life of me, I don't know why we
4 haven't seen more information--I mean this information has
5 been done in the training programs and among those of us who
6 were involved in the program, but if anybody else is aware of
7 a real broad-based public outreach program, using them, I am
8 not.

9 MR. WENTZ: I would just like to say, as far as the
10 Transax-90 exercise, field exercise and the recovery exercise
11 done at WIPP recently, we do--well we have incorporated some
12 of that into some public information materials and we will be
13 using that more.

14 As far as the TRUPACT testing we have made that
15 known to the public as far as the DOE going through full-scale
16 testing, going beyond what the test requirements were, but it
17 also has the potential to back fire generally, because the
18 public doesn't understand I guess the significance of that
19 testing procedure with an unyielding surface. They see it as
20 a 30 foot drop and then they come back and say well these are
21 going to be traveling 55 or 60 mph. It's not significant.

22 The issue about the crush test, there wasn't a crush
23 test performed. The NRC requirements don't stipulate that one
24 be performed. So there is a positive and a negative to
25 presenting that type of information to the public. And, we

1 tried to incorporate it where we can, but it does has its draw
2 backs.

3 DR. PRICE: I think we could carry this discussion on,
4 but I believe we have to move on on the program, and we should
5 take a little break now and come back in about ten minutes if
6 we could.

7 MR. ROSS: Dr. Price?

8 DR. PRICE: Yes.

9 MR. ROSS: I would like to provide you with a video tape
10 that the State of Idaho has prepared which attempts to take
11 those tests and put them into a public knowledgeable type of
12 format and those are being distributed and very well received,
13 where 30 foot drop test equals so many miles per hour.

14 DR. PRICE: I'd like to see that.

15 We'll take a break now.

16 (Whereupon, a recess was taken off the record.)

17 DR. PRICE: Could we reconvene please? And Bob Halstead,
18 the floor is yours.

19 MR. HALSTEAD: Thank you, Mr. Chairman. As always it is
20 a delight and a privilege to be able to talk to the Board and
21 Transportation Panel. I'll dispense with some of the usual
22 formalities. I want to begin by saying that I like and
23 respect Mel too much to take offense at his characterization
24 of me as a shill for the Board, but there is a certain amount
25 of truth to that. And I hope it is understood by the Board

1 that when I talk up this Board and its panels as one of the
2 few, last best hopes for working out some of the conflicts
3 between the state and the Department of Energy that that
4 reflects well on the way that we view the Board and its panels
5 in the State of Nevada.

6 And frankly there was some trepidation on the part
7 of members of the WGA and I think possibly also on the part of
8 some of the DOE contractors about what was going on with the
9 Panel's interest in the WIPP program and exactly what might
10 the Panel and the Board expect from the WIPP program that
11 could be really interpreted as lessons learned. And I am
12 really glad that you have had the opportunity to hear the
13 range of statements that you have heard today.

14 My statement this afternoon as I take off my WGA hat
15 and put on my State of Nevada hat, will look at some lessons
16 learned and some lessons to be learned. Briefly, before I get
17 into those let me say a few comments about some of the
18 limitations on the lessons learned from this program. They
19 have certainly been discussed in bits and pieces by various
20 speakers today, but I think it is important to keep in mind
21 there are significant differences in the waste
22 characteristics, the hardware characteristics, the anticipated
23 shipment characteristics and differences in the regulatory
24 structure that we need to keep in mind when we are trying to
25 make these lessons learned.

1 Obviously in the waste characteristics area with TRU
2 waste, we don't have the enormous concern with gamma and
3 neutron radiation that requires the attention to shielding in
4 the design of hardware for high level waste. And I might also
5 say that on the part of the official public in the affected
6 states and the public of first responders I think there is an
7 appreciation of these differences. But, as I said earlier, I
8 think that the general public has a real problem
9 distinguishing those waste characteristics.

10 The hardware characteristics, I think several
11 members of the Panel pointed out that the particularly because
12 of the shielding requirements and the thermal characteristics
13 of spent fuel and high level waste, obviously the shipping
14 containers are considerably different and that has to be kept
15 in mind.

16 The shipment characteristics are also likely to be
17 different. Now, the state believes it is going to be very
18 difficult to put a rail line into Yucca Mountain. But,
19 nonetheless, we continue to push for an emphasis on rail
20 planning because we believe that's the best way to move waste
21 to a repository whether it is located at Yucca Mountain or
22 some other place. That's an important difference to remember
23 here. We are planning a repository system, based either
24 exclusively or primarily on rail transportation. We are now
25 talking about a WIPP system that looks like it is going to be

1 primarily or exclusively truck. If we did have a 100 percent
2 or predominantly rail transportation system for the
3 repository, it would be further important to remember that if
4 there were no MRS in the system, there would be some
5 considerably different shipment characteristics.

6 I don't have the precise number on the average
7 length of shipments to WIPP, but I believe it is somewhere in
8 the 1,000 and 1,500 mile range, whereas an all truck system
9 feeding waste to a repository at Yucca Mountain would involve
10 much longer truck shipments, averaging somewhere between 2,000
11 and 3,000 miles. And that would be an important factor to
12 consider in many aspects of the system.

13 One example of how these differences must be kept in
14 mind is when we evaluate the DOE sponsored CVSA and CRCPD
15 inspection programs. They are very valuable programs, but we
16 always need to remember those shipment differences and if we
17 do have the opportunity to expand those programs to include
18 utility spent fuel shipments or spent fuel shipments to DOE
19 facilities, we believe that we should do that, that those
20 shipments may be closer in their characteristics to the kinds
21 of shipments we'd be concerned about in the civilian program.

22 Finally, I think the fact that the civilian program
23 is going to be fully regulated by the NRC and that many of the
24 things that we have talked about today that are positive
25 aspects of the WIPP transportation program, although they are

1 in a sense, extra regulatory, because they are not required,
2 we are assuming that the full regulation of the DOE
3 transportation system by the NRC will in some ways make it
4 easier for us to address many of the issues that have in
5 effect had to have been negotiated here.

6 Let me turn to the first page of my handout. I
7 tried to keep it short this time, to two pages. There are
8 five important lessons learned in our opinion from the WIPP
9 transportation program which can be applied to the civilian
10 program. I was very happy to hear this morning in Mike
11 McFadden's presentation that from his view lesson learned
12 number one is early participation of the states. I had a
13 discussion obviously of my statement for you with Bob Loux,
14 the director of my office yesterday. He said, number one,
15 early involvement of the states. That's the issue you want to
16 stress.

17 The others are significant, but the really important
18 one is to drive this point home of early state involvement and
19 not just the host facility state of course, but to get the
20 corridor states. And frankly the State of Nevada is involved.
21 We are going to continue to be involved. We think lesson
22 number one is to get the corridor states involved in planning
23 the overall transportation system early enough so that they
24 can raise their concerns about operating protocols, cask
25 design, risk assessment methods, issues that should be

1 addressed in the environmental impact statement for the
2 repository. Should there be a separate EIS on transportation
3 issues. This is the time to start getting the input from the
4 potentially affected states.

5 We realize that there are some difficulties in
6 identifying the corridor states because of uncertainties about
7 the role of an MRS in the system, and uncertainties about the
8 location of an MRS. Our response to that would be to try to
9 determine at this point those states that are obviously going
10 to be involved either because they are between Yucca Mountain
11 and a federal facility or because they are located on a major
12 funneling portion of a highway route from say the northeast or
13 the southeast. We realize that it is very difficult to fairly
14 identify all the states that might be included over time, but
15 certainly we can begin now and we can identify many of them.
16 This is really a lesson learned under point two as we talk
17 about WIPP and let me turn to that.

18 By the way, I say that lesson number 1, early
19 identification involvement of corridor states, that is a
20 lesson I think that DOE/OCRWM needs to learn from the WIPP
21 program.

22 Lesson number two, that the key transportation
23 planning assumptions are likely to change during the lifetime
24 of the project and everybody involved with it better be
25 prepared for this, that is a lesson that the State of Nevada

1 and the corridor states as well as OCRWM need to learn from
2 the WIPP experience.

3 I gave myself the benefit of spending a few hours
4 with the 1980 final EIS from WIPP on Monday in preparation for
5 coming here. And those of you who have been around with this
6 business long enough to remember those changes, it is pretty
7 amazing when you go back and look at the changes in the shape
8 of the WIPP proposal and in turn the transportation systems
9 implications of that over the last 11 years. Twelve years if
10 you go back to the draft EIS. You know originally WIPP was a
11 multi-purpose facility. It was going to receive not only
12 transuranic waste, but it was going to receive some radiated
13 reactor fuel. It was going to receive some canisters of
14 vitrified high level waste. The original plan called for, I
15 think the original, original plan if I am not mistaken, called
16 for almost exclusive reliance on rail transportation by the
17 time the 1980 EIS came out, that was about 75 percent rail,
18 25 percent truck. And now of course we know the planning
19 basis while it could change to accommodate rail, looks pretty
20 surely like it is going to be a 100 percent truck operation.

21 And I think these are important lessons for those of
22 us affected by the civilian program to remember that any
23 program that grows out of a congressional mandate in last
24 decades is likely to have to experience considerable changes.
25 So the way you have to accommodate that is for all parties to

1 plan accordingly. It puts a lot of burdens on all of us. It
2 puts burdens on our, for example in our office to say, yes,
3 we've got to plan for a 100 percent truck transportation
4 system, a 100 percent rail transportation system, and some
5 range of mixes in between.

6 It means for example that we have to not only be
7 concerned about receiving 70,000 metric tons of high level
8 waste, but if there is no second repository and if Congress
9 lifts the cap and all the operating reactors in the country
10 have their licenses extended for 60 years, and even if we
11 don't have any new reactors sited, we could see a significant
12 increase in the amount of waste and then of course in the
13 number of shipments. And there are many uncertainties about
14 what wastes will be included in that nebulous category
15 entitled miscellaneous waste requiring geologic disposal,
16 which could include commercial TRU waste, TRU waste from an
17 MRS facility, radiated hardware from decommissioned reactors
18 and so forth.

19 So I think lesson number two is that in federal
20 nuclear waste projects that extend over a decade or more of
21 their planning time, one needs to expect major changes in the
22 assumptions which shape the transportation system. And as I
23 said, that's a lesson directed I think at all parties.

24 Lesson number 3, it's a more limited and specific
25 one and deals specifically with the issue of how one does

1 routing, and since most of our work to date on routing has
2 been either focusing on rail lines that are not built for the
3 repository or on highway routes which might be used to WIPP,
4 let me limit my remarks here to highway routing. The State of
5 Nevada has as you know a small amount relative to the other
6 sites of transuranic waste at the test site which will
7 eventually need to be shipped to WIPP.

8 We have also had some recent experience with exit
9 shipments of spent fuel from the test site to Idaho and we
10 occasionally get some through shipments of utilities spent
11 fuel or other highway route controlled quantities through our
12 state. So, because of the concern with the WIPP shipments and
13 because of the concern over the last set of shipments from the
14 test site to Idaho, the legislature directed the Nevada
15 Department of Transportation to conduct a routing study and to
16 designate alternative routes for all highway route control
17 quantity shipments, without really considering the Yucca
18 Mountain project, although all of us know that because of the
19 peculiar coincidence of geography that Yucca Mountain is near
20 Mercury where most of the shipments would occur, it is likely
21 that the highway routes that would be designated for these
22 other shipments would certainly set something of a precedent
23 for highway shipments incoming to a repository at Yucca
24 Mountain.

25 The Nevada Department of Transportation hired the

1 University of Nevada Reno College of Engineering to conduct
2 some route studies for them. Without getting into all the
3 details, these were studies done for the most part using the
4 RADTRAN version that is available through STATENET. And the
5 long and the short of it is that in evaluating a number of
6 routes, there were some routes when you calculated the routine
7 and accident risk down and whether it is in person rems per
8 year or person rems per shipment, there are some routes that
9 obviously look better than others.

10 But the problem is that you often, in our experience
11 here and from what I know of the New Mexico situation, come
12 down to your last two routes, the two that look best, and
13 there isn't much difference between them. There isn't much
14 difference in the absolute value either in person rems per
15 year or shipment and the percentage value isn't different.
16 And then it is really complicated if you use different sets of
17 accident data. If you get one result say if you use the most
18 recent years route specific accident data. You get another
19 result if you use the last five years of available route
20 specific accident data.

21 The conclusion again without driving the point
22 incessantly here is that, there isn't any easy way to
23 designate highway routes. I think that's the lesson from our
24 WIPP exercise and I think the way that we apply that lesson in
25 selecting routes for a repository at Yucca Mountain or at any

1 other site, is to do a range of probabilistic risk
2 assessments, possibly using codes other than RADTRAN, but that
3 we recognize that in the final analysis in most states it's a
4 politically accountable body or person that makes a route
5 designation. And that in addition to receiving information
6 based on probabilistic risk assessment, they need to see very
7 plainly revealed to them, what are usually the key criteria.
8 That is the acceptability of the routes chosen in your state
9 with your neighboring states, the accident rates and the
10 varieties of the accident rates between heavy truck, all
11 traffic and those kinds of disaggregations. And also of
12 course where the population concentrations are located along
13 routes, and where you may have what may be appear peculiarly
14 hazardous stretches of a route either because of some
15 physical characteristic or recurrent weather conditions or so
16 forth.

17 Lesson number four, I suppose we could spend a great
18 deal of time on and I'll try not to so that we can answer some
19 questions. Put simply, we believe the experience in WIPP with
20 the full scale testing of TRUPACT, certainly supports a
21 conclusion that full scale shipping cask prototypes in the
22 OCRWM program should be tested prior to NRC certification.

23 Let me clarify that we are not saying that we should
24 get away from the scale model testing and the computer
25 simulation techniques that we use now. Those are extremely

1 important and it is not an either or situation. We are asking
2 for full scale confirmatory testing which reflects the fact
3 that the new cask designs have greatly increased payloads.
4 They are in--I would say dramatically innovative in their
5 designs in order to accommodate those payloads. And, we are
6 talking about using materials which, while we have some
7 experience with them, we don't have a whole lot of experience
8 in using those materials in the scale that they will be
9 involved in in these new cask designs.

10 I am particularly thinking about the use of depleted
11 uranium and the Babcock & Wilcox proposal to use the borated
12 cement with copper fins. Nonetheless, even if I felt there
13 were no technical reasons for this full scale testing, I would
14 ask that you consider the public perception benefit which I
15 believe will be borne out as more publicity is given to the
16 results from the TRUPACT testing. I think I'll leave that one
17 because I suspect that we will have questions about it.

18 Let me turn to the fifth point which is an easier
19 one. You know there has been a great deal of concern both
20 among people outside of New Mexico and I'm sure with people in
21 New Mexico about the meaning of those thin spots near the
22 welds in the 15 TRUPACTS that weren't certified. And there is
23 also that issue of the thinning of the dome tops, which I
24 don't believe was discussed earlier. And I've heard a number
25 of opinions as I am sure you have as to; A, whether these thin

1 spots are significant from a safety standpoint; and, B, I've
2 heard several different stories as to who gets credit for
3 discovering these thin spots and discussing them with the NRC.

4 To us the important point is that this is a good
5 reason to have an NRC inspector actually certifying the
6 components and the assembly of the cask components in the
7 OCRWM program. This is of course not a new argument. It's a
8 point that we've been raising since 1987 in the transportation
9 needs assessment that Mountain West Research did for us.

10 I am not going to say that you can argue beyond a
11 reasonable doubt that you need to have an NRC inspector doing
12 those inspections. It may well turn out that an NRC certified
13 QA program with diligent inspector would find these problems
14 and correct them. But we think that it would certainly be an
15 advantage to be able to say that there has been an NRC
16 inspection, which in effect certifies that each transportation
17 container that rolls out actually complies with the
18 regulations and with the specifications with that particular
19 design.

20 Let me turn briefly to the area that Woody had asked
21 me to sketch in a little detail, and I am going to be brief in
22 going through these so we have some time to discuss them in
23 questions. From the State of Nevada's perspective, the WIPP
24 shipments are going to provide a very significant laboratory
25 in which we may study transportation operations. Obviously,

1 we want to collect data on accident frequency and severity.
2 If an accident occurs, how long did it take the emergency
3 responders to get there. How well did they handle the
4 incident?

5 We also would include incidents and near misses, and
6 we haven't had a chance to do a lot of thinking specifically
7 yet about how we would document this, and in general, we tend
8 toward a position that says we are better having a short list
9 of data needs and collect those data needs on every shipment.

10 But the thought occurred to me, when you raised the
11 issue and I don't remember whether it was Mel or Dennis, the
12 issue of near misses, that one way that we might investigate
13 this would be simply to mount a camcorder in the cab or by the
14 cab or have an escort car with a camcorder and simply
15 document every second of a certain number of these shipments.
16 But, to actually to that issue of near misses, which I think
17 is very important, is potentially time consuming and
18 expensive, but it is something that we shouldn't dismiss and
19 we should try to find an effective way to collect that data.

20 DR. PRICE: Bob, may I interrupt just to say since I
21 introduced the term near miss, I would like to point out that
22 a near miss is a hit, and that is probably not what we really
23 mean a near hit, but it is a common terminology. Yes.

24 MR. HALSTEAD: Again there does raise the issue though of
25 how you document those and it had not occurred to me before I

1 heard you discuss it that you know, geez we get camcorders out
2 to take pictures of our children's birthday or a child's
3 performance in an athletic event or even pictures we might
4 want to save ourselves. This is one of those applications
5 where the camera, as you know from using high speed video in
6 test applications, that this may be one way on a certain
7 number of those runs to collect that data. Another area where
8 I think some innovation in data collection will be necessary
9 is the second one. I am very much concerned about the issue
10 that Mel brought up about waste classification and
11 certification. And I think that is one of the most important
12 areas where potential human error needs to be examined here.
13 But, I also would hope that we would pay attention to
14 developing some mechanisms for collecting information on
15 performance in those other areas.

16 Obviously, we are going to want to have a complete
17 data base on inspection results, route deviations, weather
18 delays, Transcom performance. I was very pleased to hear in
19 Tom Ward's presentation the attention that had been paid to
20 the Transcom--to the installation of the Transcom antennas and
21 then of course the whole decision to move away from LORAN-C to
22 a satellite tracking system.

23 But I think developing a data base on the
24 performance of that system, which we assume will be in its
25 "nth" generation used on shipments to Nevada if a repository

1 at Yucca Mountain should be licensed there, that is a very
2 important area for us. And a very important area in which
3 public confidence can be built, if it is actually demonstrated
4 that the real time tracking system works.

5 Maintenance requirements, I define that very
6 broadly, for example, to include all the concerns that you
7 raised about stress on the trailer. And finally, to make sure
8 that we are not just collecting desperate bits of data and
9 storing them away I think most importantly we need to develop
10 some plan for a system safety analysis based on the data that
11 we collect that gives us an opportunity to compare for actual
12 with predicted results.

13 You should know that there is kind of a semantic
14 problem. We use the words program evaluation within the WGA
15 group to talk about really the same thing, how we are going to
16 document the safety accomplishments of the different program
17 elements that we are involved with.

18 And with that, I'll say, thank you for the
19 opportunity to raise these issues with you and I'll be happy
20 to answer any questions.

21 DR. PRICE: Thank you, Bob.

22 DR. CARTER: I have a couple of things, Bob.

23 Bob in the fifth lesson learned, I guess, where you
24 essentially recommend that the NRC have an inspection. Of
25 course that would be contrary to a lot of present practices.

1 In essence now, they have engineering specifications and
2 perhaps others, and I am assuming that the product meets those
3 specifications. This obviously, like a lot of other things
4 would increase the cost. A lot of people have given us
5 suggestions and the DOE is gluing a lot of those things onto
6 the programs in this case, the WIPP program, not necessarily
7 this one, but many others. So I guess you end up with the
8 question really of how safe is safe enough? Whether this or
9 other things are needed.

10 Certainly right now, I think most people are
11 dispassionate if they took a look at the WIPP transportation
12 program, they would say it is overkill in spades in many, many
13 cases. Now, not everyone necessarily would agree with that,
14 but I think many people would, particularly if they have been
15 involved with transportation of toxic substances and hazardous
16 materials. The two are completely inconsistent as far as the
17 requirements.

18 Anyway, I just wondered if you would talk on that?

19 MR. HALSTEAD: Certainly a fair question. It goes right
20 to the heart of any kind of cost benefit analysis in showing
21 there is a benefit there.

22 I would answer it in a couple of ways. First of
23 all, I would like to think that the way we are going to go is
24 to apply the standards we've developed for handling nuclear
25 hazards and apply them to the other chemical hazards rather

1 than arguing for something less. I think on this specific
2 issue of an NRC resident inspector, the cost is not likely to
3 be great, and I think the benefit--I would address the benefit
4 in public confidence the way that I believe there has been
5 increased public confidence in those instances where a
6 resident NRC inspector is available to check out a cask when
7 it leaves a reactor. Now we are not shipping a lot right now.
8 We haven't shipped for awhile. But, I remember from my
9 recent experience with the Monticello and Point Beach
10 shipments, there certainly was a great public confidence
11 benefit of having an NRC inspector at that stage of that
12 operation. And to me this is a comparable one.

13 Frankly, this is one where I think the cost is less
14 significant than the cost on testing. And that's a concern
15 that we have because we are proposing these testing
16 requirements. It frankly is not a lot of useful literature
17 right now to address some of these questions. We hope that in
18 the next nine months in a cooperative project that is going to
19 be funded by Clark County's nuclear waste program and
20 conducted jointly with the state to hire a couple of
21 consulting engineers, if we can afford them. We haven't gone
22 very far in the solicitation, yet we've actually got recent
23 experience taking casks through the NRC certification process,
24 and got them to develop some preliminary protocols for how we
25 would actually test the BR-100 and the GA-4 and the GA-9 to

1 meet the current NRC performance standards.

2 And then from that, I would hope in 12 months or so
3 to be able to give you a little better answer on what the
4 costs are and how we would justify those costs, when in fact
5 the major benefit may be an intangible, such as increased
6 confidence, rather than in an empirical sense, any defensible
7 improvement. But, it's a fair question.

8 DR. CARTER: Well, for example, earlier today we heard
9 the discussion of a crack in the frame of something that was
10 probably not significant in terms of safety and health
11 consideration. Now, yet if you are member of the public or a
12 member of a political establishment, if you hear that there
13 are cracks in the trucks that transport this material, that is
14 awful, without really looking into whether or not those kinds
15 of things are of any significance.

16 And I think we do this many, many times. We tend to
17 pass over these things without really doing a good evaluation
18 of them in terms of health and safety is that is really what
19 we are primarily concerned about.

20 MR. HALSTEAD: I would make the argument that we are in--
21 it's a particularly difficult dilemma precisely because of the
22 political controversy of the overall waste program, the
23 tendency on the part of many observers in the general public
24 and among officials to associate the DOE civilian program with
25 things that Chris Wentz's said with incidents that have

1 occurred at DOE facilities, which frankly should never have
2 occurred that are going to be costly to clean up. And so in
3 some ways it is more--I guess if I were evaluating making
4 these kinds of--imposing these kinds of requirements frankly
5 on a well-regulated commercial utility that had a fine track
6 record and we could name a few, it would be harder to justify
7 this, but I think the public credibility issue is something
8 that needs to be given special consideration in doing kind of
9 a traditional cost benefit analysis on additional regulatory
10 requirements.

11 But, I agree with you, it's a very difficult--from
12 an equity standpoint it is very hard to justify that kind of
13 regulatory approach.

14 DR. PRICE: Do you know if any other states than Nevada
15 in the selection of WIPP routes used RADTRAN as a very
16 important part of their selection process?

17 MR. HALSTEAD: Yes, and I won't speak for them. I don't
18 know if Chris--I know that New Mexico made some use of
19 RADTRAN. I was told that Colorado had and I believe Bob they
20 used it in Oregon. But, yeah there have been efforts to use
21 it.

22 DR. PRICE: And is your concern about waste
23 classification which I see as kind of a different problem for
24 WIPP type shipments as compared to civilian waste, the
25 classification issues, what are the factors that you are

1 concerned about and does it have to do with blending for heat
2 or are you talking about--what are your concerns?

3 MR. HALSTEAD: Well, in terms of the WIPP shipments,
4 maybe I should be more concerned, but from what I know of the
5 materials at the Nevada Test Site, I think they are going to
6 be relatively less of a problem from a classification
7 standpoint than say some of the wastes from Hanford may be.
8 So, I certainly just acknowledged that as an important
9 procedure to look at from the standpoint of documenting human
10 error.

11 There is of course a direct application with the
12 issue of administrative controls, if we continue to pursue the
13 burn-up credit issue for the new casks and without going into
14 detail, I do have some concerns about the need for
15 administrative controls in classification at the time of
16 loading of casks.

17 Again, I personally always thought of criticality as
18 a pretty far-fetched issue and maybe it still will be. But, I
19 think that is a related issue.

20 DR. PRICE: Related to the mixed waste problem of WIPP?

21 MR. HALSTEAD: I guess it's not as direct a parallel.
22 From Nevada's standpoint, we are less concerned about the
23 materials coming in for shipping for waste--they seem to be
24 less of a problem from a classification standpoint.

25 DR. PRICE: Thank you.

1 Our final speaker for the afternoon is Robert Neill.

2 MR. ROBERT NEILL: Thank you, Mr. Chairman.

3 I guess I got to the right panel finally here today,
4 although after that excellent introduction by Bob Robison
5 before I found that it was for Ron Ross. And many of them I
6 have worked with in the past, certainly Bob Halstead on an
7 advisory committee to the State of Tennessee for the MRS, and
8 certainly with Chris Wentz continuously.

9 In fact the first course I ever had in this area in
10 radiation protection was given by Mel Carter in 1956. That
11 was 35 years ago. I was only six at the time.

12 DR. PRICE: And he was 12.

13 DR. CARTER: No wonder you didn't graduate.

14 MR. NEILL: Right. Right.

15 And I might mention that we got set up here in 1978
16 to establish an independent technical review group of the WIPP
17 project, one of the interesting things is that I think there
18 is a comparability in the purpose of EEG to that of the Board,
19 in that we have no regulatory authority nor responsibility.
20 We do an independent technical evaluation of the impact of
21 WIPP on public health and safety. We also run a monitoring
22 program both on-site and off-site. We have the right to
23 comment. We have no regulatory clout. The DOE reads us their
24 rights, they say, you also have the right to remain silent,
25 but we do and we have published something like 46 major

1 reports that were funded at the level of \$1.5 million a year,
2 have a multi-disciplinary staff of 18, located in both
3 Carlsbad and in Albuquerque as well.

4 Our input--we have no regulatory authority, but
5 giving you an example from the last couple of weeks, last week
6 I briefed the Governor on some of our activities. I'll be
7 briefing Chris and his boss in two weeks. We work with the
8 office of the Attorney General to provide input. For example,
9 a few years ago, we said there is no lock on the routes for
10 the carrier to follow taking materials to WIPP. And at that
11 time, the attorney general chose not to acknowledge the
12 validity of our conclusion of a group of engineers. About two
13 years later they agreed we were right and it would be
14 necessary if we wanted to have a lock on the routes to specify
15 them.

16 I think it might be helpful since we talk about
17 radioactivity, and I've always been after DOE on this, is the
18 first thing you are really going to talk about are curies.
19 And the inventory of WIPP is about 15 million curies of
20 radioactive waste. Two-thirds of it contained in the contact
21 handled transuranic and the other third in the very small
22 volume of remote handled. But rarely does one emphasize to
23 groups that the maximum gamma dose rate can be as high as 1000
24 R per hour for 5 percent of the RH-TRU waste.

25 People get confused when you point out that the

1 external gamma dose rate for the unshielded RH-TRU containers
2 is higher than the output of some of the gamma dose rates of
3 the DWPF which would be a few hundred R per hour coming in.

4 Now, we also pointed out in the training course it
5 is important to include a slide to that effect to show that it
6 goes to 1,000 and the initial feedback was that that could be,
7 not inflationary, but it could cause concern with people.
8 Well that is always a problem we have in trying not to be an
9 alarmist but at the same time to be factually correct is not
10 to denigrate the hazards associated with these materials.

11 Some of the estimates are difficult to come up with
12 because two-thirds of the waste that gets slated to come to
13 WIPP has yet to be generated. And one of the reasons that
14 we've been adamant over the years in insisting on wanting to
15 get a very good system for the shipment is that we would
16 anticipate that probably a lot of the very TRU waste would be
17 excavated and triple the volume to be brought to WIPP. And
18 since today we've been talking about a total of shipments of
19 about 30,000 shipments, 25,000 for the CH-TRU and perhaps
20 5,000 to 7,000 shipments of the RH-TRU, it is essential that
21 we have a very, very good system. Because, if you are going
22 to have 100,000 shipments perhaps in the next 50 years and
23 even though the frequency of the probability of an accident or
24 a release may be low, when you multiply the two together, you
25 do get a finite discernable calculation.

1 Over the years we have published about almost 50
2 major reports in different areas. I might mention a few of
3 them in the area of transportation. First when we got started
4 in '79, we did some calculations--we did the derivations of a
5 moving point source, kind of the classical thing and checked
6 calculations of DOE and agreed with the numbers. Jim Channell
7 in 1980 went through some calculations involving doses
8 involving accidents, both if you didn't clean up and you
9 cleaned up and the moral of the story, which is not surprising
10 that it is essential that one decontaminate. Jim looked at
11 the dose associated with ingestion, inhalation, re-suspension
12 and along the customary lines like that.

13 One of the other ones that we looked at in 1983 was
14 that there was a problem associated with the generation of
15 hydrogen on some of the heat source plutonium 238 waste that
16 are located at Savannah River and also at Los Alamos. And we
17 concluded that there was a major problem associated with
18 hydrogen generation and that we probably would not be able to
19 ship those wastes to WIPP in the current form that they were
20 in. We took a lot of flack on that report and it is
21 interesting to note today that the DOE is agreeing verbally
22 but not in writing, that we probably will not be able to ship
23 those wastes, which may run around a few hundred curies per
24 drum of the RH-TRU waste.

25 In 1986 we looked at the adequacy associated with

1 the TRUPACT I design. Now that is sort of ancient history,
2 but a lot of people have been bringing up ancient history
3 today, and that was a rectangular design that was set up in
4 1978 in knowing realization that it violated the standards of
5 both AEC, DOE and subsequently NRC. And that it was intended
6 to ship more than 200 curies of plutonium and yet did not have
7 double containment.

8 The report that we got on it much later was to the
9 effect that the plan was to go with single containment and
10 then try to convince the authorities that double was not
11 required. We informed DOE in 1985 that that rectangular
12 design with the single containment invented was unacceptable
13 for use in New Mexico. DOE countered by doing three things.
14 First, was they funded an ANSI committee to look into the
15 concept of merely requiring single containment and allowing it
16 to be vented and ANSI rejected that and said, no, they didn't
17 think it was a good idea.

18 Subsequently, we petitioned the DOT to do the same
19 thing which I will categorize as watering down the standard.
20 DOT noted they were not in the business of regulated Type B
21 designs for shipping containers, that they had a memorandum of
22 understanding with the NRC whereas NRC would take care of
23 those.

24 The third thing that came up at that time, as I
25 remember, the contractor was going in and out of offices in

1 the Governor's previous administration saying that the
2 insistence by EEG and specifically Bob Neill to adhere to
3 these standards that really weren't required would result in a
4 drastic decrease in the payload if you had to increase the
5 weight of the container with double containment, there would
6 be a lot more shipments and there would be more deaths from
7 transportation and a much higher cost associated with it. In
8 fact, the cost estimates which were never published were about
9 a half a billion dollars. I repeatedly requested those, but
10 never did those cost estimates.

11 It is gratifying to note that when DOE finally did
12 submit the design to NRC and abandoned the rectangular TRUPACT
13 II design and that TRUPACT II is when they tried to put a
14 double containment and not vent it, that it resulted in a
15 cheaper design with a higher payload. So, sometimes these
16 things do work out to where it wasn't that much of a problem.

17 A few other recent reports that have just been
18 published was that Dr. Matt Sylva who is here right now,
19 joined us a year and a half ago, had looked in the question of
20 the explosion potential associated with these volatile organic
21 components in CH-TRU waste, and although we had only gotten
22 the information on it in a short time, I think Matt put out a
23 very good and an excellent report. Subsequently, we have
24 gotten some more data. I haven't heard any of it presented
25 today on swollen drums and on some explosions that occurred,

1 but it wasn't clear whether it was in TRU waste or not. And
2 Matt is getting that material from DOE and is going to be
3 publishing a second report in the not distant future. And I
4 might add too, that DOE is also working on this to publish a
5 similar report.

6 Mr. Chairman, you asked a few moments ago regarding
7 the use of RADTRAN IV on those calculations and Dr. Tony
8 Gallegos of EEG is also here with us today and would be in a
9 position to respond to any questions you may have on that use
10 of RADTRAN IV. These were some detailed calculations
11 performed using various probabilities of major accidents from
12 minor ones to the major ones that have been set up and why
13 don't I present or give for your library one set of those
14 reports in the transportation area.

15 One of the other things that we have tried to do is
16 to get the message out, not just on our calculations and
17 analyses but to make presentations at various national
18 meetings, and there is a paper presented at Tucson a few weeks
19 ago relating to some of those. And as I say, both Matt and
20 Tony are here to respond to any of the questions you might
21 have in that area.

22 I would like to comment a little bit here on the
23 experimental program, even though I realize this is not within
24 the immediate scope of your addressing in the transportation
25 areas, but I think it is relevant because Bob Robison brought

1 up the question about all these constant and chronic delays
2 that have occurred.

3 Basically the Department expects to complete its
4 demonstration of compliance with EPA standards, 40 CFR 191 for
5 the same disposal of nuclear waste in 1995. It is interesting
6 that Carl Gertz estimates, I believe that NRC--they will
7 complete the same effort in Nevada in the year 2001.

8 But the Department has looked at the question of
9 bringing waste for purposes other than disposal in the interim
10 period and has identified the use of something like a half of
11 a percent of the total volume for experiments which would
12 entail about 107 truck shipments.

13 Now, remember again that we are only talking about
14 the contact handled waste. We don't have a shipping container
15 designed yet for the remote handled transuranic waste, which
16 after 13 years is a little bit surprising. But the laboratory
17 tests, which used some simulated known radioisotopic mixtures,
18 they are not wastes, they are in progress in other states,
19 Florida, California. There are some engineering problems
20 associated with these other tests. The bin tests--the first
21 shipment is scheduled--someone asked, when will the first one
22 be? Well, according to the DOE decision Plan 6, it is
23 scheduled August 1, of this year.

24 The tests that involve the addition of brine to the
25 waste form where one can evaluate the affect of the gas

1 generation through anoxic corrosion, cannot be conducted at
2 WIPP, because, the facility was not designed to do research
3 with radioactive waste. There is no radio chemical
4 capability. There is no facility to dispose of rubber gloves,
5 cotton--you know, materials such as that type. The Department
6 has not yet identified where they will do these tests. And I
7 was told just yesterday when I inquired again, that a decision
8 on these will not be made until the first of the year.

9 Now in lessons learned, one of the ironies here is
10 that the estimates of the solubility of the waste form varied
11 by a factor of 10^6 , that's about the best you can come up
12 with. It is very difficult to even--when you go through the
13 analysis and the calculations to convince your own brother as
14 to the validity of some of these solubility limits, and in
15 fact in talking, just during the break to Dr. Verink, he was
16 trying to convince my brother in his work on some other
17 illustration, and I always use my brother as an example, but
18 right now you cannot do those tests underground at WIPP. And
19 DOE has not yet decided whether to do them above ground, at
20 the facility or elsewhere.

21 With respect to the ALCOVE tests, this is where we
22 carve out a room, put the drums in the room, seal the room and
23 measure the net quantity of gas being generated. There are
24 some problems with that in that we have been unable to
25 establish a seal for the room. The inflatable seals haven't

1 worked. The crushable seals of polystyrene don't work, and
2 the latest is to come up with a massive 50 foot concrete plug
3 which would be designed sometime in the next year, tested and
4 constructed the year later and be not available probably in my
5 estimate for at least two years. So there are some problems
6 with the ALCOVE test that comprise 75 percent of the waste.

7 Going back to the drive-in tests, one of the
8 questions that come up is that EPA has said, hey, under the
9 RCRA requirements you've got to be at 50 percent of the LEL
10 for hydrogen and methane at the time of emplacement, which
11 would suggest a maximum concentration of 2 percent.
12 Westinghouse is not talking about limiting the concentration
13 to that level during the experimentation. If that occurs and
14 if you generate hydrogen at a rate of roughly a mole per drum
15 per year, which is not an unreasonable estimate. The spread
16 is from .85 to 2.5, you would have to purge the darn things
17 once a month or every few weeks. That problem could result in
18 affecting the gas generation rate giving good data.

19 I won't have time to go through these others, but
20 let me mention one other. On the floor and roof stability, we
21 have a problem here that the floors have had to be
22 reconstituted every two years. It's no big deal in an empty
23 room where you can do this. This is a result of the
24 lithostatic stresses of the rock over pressure which is about
25 2100 psi. The problem is when you put the bins weighing two

1 tons apiece in this room, it's not going to be an easy task to
2 be able to move them around and shuffle them around and
3 reconstitute the floor.

4 Of greater significance is the fact that DOE has
5 estimates on the stability of the roofs which suggests that
6 you can take credit from anywhere from 8.5 years to 16.5 years
7 with ten foot rock vaults in the room. They have two reports
8 to that effect. And you say, well what is the big deal. If
9 you want to do experiments for five years, you've got a factor
10 of safety of 3.5 years. Well the answer is that the rooms,
11 Panel One, Room One, at the time of emplacement in October
12 will be five years old. And a five year old room with a five
13 year experiment adds up to ten years. So there are
14 problems associated with the experiments that can result in
15 some delays with the waste being brought.

16 One of the other ones that I wanted to cover here
17 relates to the four-fold effort in trying to ensure safety in
18 transportation. By the way, we think that the CH-TRU package
19 is a pretty good package. But, I've gone through the legacy
20 and the history of how it took EEG and we fought with DOE for
21 five years on this to get them to abandon that design which
22 violated the room standards. And had it been licensed by NRC
23 would not have been permitted to operate on the highways.

24 The second point which I alluded to a little bit
25 earlier, related to the designation of routes. We were

1 convinced we didn't have a lock on the routes. The C&C
2 agreement that we set up identified potential routes to be
3 used in bringing waste, but there was no commitment to it.
4 Now, we said we are asking Congress for money to upgrade some
5 of these rural roads, and if the carrier did not adhere to
6 those roads and then he went over to visit his girlfriend or
7 what have you for what reason, gets into a fender bender with
8 a school truck on another road which had not be upgraded and
9 paved with public monies, you would have a problem.

10 Now, we identified three ways that DOE could solve
11 the problem. The first was to put it in the contract of the
12 common carrier. Real simple. You either adhere to these
13 routes, any deviation or violation the contract is null and
14 void and the driver is fired. The Department is very
15 reluctant to do this on the basis that it would establish a
16 precedent in the other areas. We are shipping two to three
17 million shipments of radioactive materials a year. And if the
18 government started getting into the precedent business of
19 setting routes, you assume all kinds of problems with
20 liability. So, DOE didn't want to touch that one with a ten
21 foot pole.

22 The second was to amend C&C agreement between DOE
23 and the state to do that, but even that wouldn't help unless
24 there was lock with the carrier.

25 The third mechanism was that the Department of

1 Transportation as was mentioned earlier, gives the state the
2 authority and the responsibility to establish routes, if
3 interstates are not, you know readily available and useable.
4 That's an excellent example of how rarely does Washington
5 delegate back to the states authority of where they say, hey
6 you guys would know more about this than we would in
7 Washington.

8 So the point is made today that the AG required the
9 state to do it. No, that is not the case. It goes like this,
10 that if an accident occurred and the state had not exercised
11 its authorities to designate the routes, the state would be in
12 a very awkward position to complain about it. And rightly so.
13 So at this point, the agency that is charged with that
14 authority, has only designated one route from the north which
15 is supposedly the only waste that would be needed for the
16 first five years. But there is a complicating fact I might
17 mention to you, and that is that we are requesting Congress
18 for funds to upgrade certain roads. And it might be difficult
19 to convince members of the Senate or the House to expend
20 public monies to upgrade certain roads if the state hadn't
21 specified them yet. That could be a tough one to carry
22 through.

23 Carrier safety I think has been carried off pretty
24 well, and I think the emergency response efforts are very,
25 very well covered. I think there is nothing new in what I'll

1 comment on that. Namely, because of delays and because of the
2 turnover of personnel, things that we have done, we are going
3 to have to do over and over and over again.

4 In fact it was the old joke of the line of the guy
5 that got married, and he told his bride, I want to tell you
6 something once and I don't want to have to repeat it everyday.
7 He said, I want you to know I love you, and I just want to
8 say it once. Well the same--it's a bad joke I guess. But,
9 the same problem I think relates to emergency response where
10 we are going to have to keep doing it over and over again. It
11 must be the hour.

12 I mentioned earlier that the limits on hydrogen gas
13 may preclude shipment of the 238 heat source waste in two of
14 the facilities. I note now that that is a third of the total
15 radioactivity coming to WIPP. And that problem hasn't been
16 addressed. We all talk about CH-TRU, but nobody talks about
17 the problems associated with a remote handled transuranic
18 waste, that after 13 years we don't even have a modified high
19 level waste shipping cask design that's been submitted to NRC
20 for certification.

21 The third point in the transportation area, if in
22 the unlikely event that DOE cannot meet the EPA standards for
23 waste disposal in 1995, what do you do with these bins with
24 brines which are not authorized for shipment by the NRC. They
25 make a big deal out of it saying that they should be dry

1 waste. Now you can add some cementaceous materials, but there
2 is not guarantee that if the bin is filled with brine at a
3 pretty high level.

4 Fourthly, very recently, the Hanford problems which
5 were alluded to earlier that the metallic components in the
6 Hanford high level waste tanks have been recently redefined
7 now as RH-TRU waste. And this may be an addition 2 million
8 curies. You can also get into a legal question as to whether
9 if a piece of metal has some high level waste on it, is it
10 high level waste or isn't it. And that is some problems
11 associated with that we've identified.

12 Some of the other things which I think have been
13 mentioned, namely that only one route has been currently
14 authorized for shipment into the states. Some of the
15 monitoring procedures at the point of origin have yet to be
16 defined. There are a number of boxes out there in the system
17 that can't be shipped. They are just too darn big for the
18 existing design of the TRUPACT, although there are plans to
19 perhaps modify the design that would accommodate those kinds
20 of things.

21 In the area of self-regulation which we have on
22 WIPP, some of the drums are now 21 years old and that is no
23 big deal, but they had a 20 year design life. That doesn't
24 mean that that drum is going to self-destruct, but from the
25 standpoint of public perspectives and concerns, that does

1 raise a problem.

2 DR. CARTER: Bob, can I ask you a question about that
3 last item?

4 MR. NEILL: Yes.

5 DR. CARTER: Do you really consider that a big deal, that
6 these things be put in ones that they will fit?

7 MR. NEILL: No. I think you can redesign the shipping
8 container to accommodate these, but this is a subset of--

9 DR. CARTER: Well, either that or change the box, you
10 know, at the generation site. I mean that is a mechanical
11 problem.

12 MR. NEILL: Right. That can be done. But there are a
13 lot of things in that category that I think we have to face up
14 to and address. For example, the tunnel waste at Hanford is
15 whether we start carving up these locomotives and things like
16 that or whether it is safer to leave those kinds of materials
17 there or not, or the buried transuranic waste. These other
18 materials, some of them are under one foot of dirt, and if you
19 tell the public, look it is necessary to spend 3 billion
20 dollars to truck these materials a half a mile underground,
21 then the public says, gee, what are you doing about this stuff
22 that is under one or two feet of dirt here that we buried
23 prior to 1970?

24 I don't mean that these are insurmountable problems,
25 and I hope I didn't convey that, but these are issues that

1 need to be addressed.

2 At the last NAS-WIPP Panel meeting, the gentleman
3 from Sandia who is in charge of the characterization of the
4 waste form in Idaho and there is a major effort going on on
5 that and the questions were raised. And in order to be able
6 to match the amount of gas being generated with what is in the
7 drum or in the bins, whether it stems from aerobic
8 decomposition of the waste or anaerobic decomposition or
9 radialysis and I might add that the radialysis is probably
10 less than 10 percent of the total gas issue, wherein half of
11 it comes from the anoxic corrosion, the carbon steel drums, Al
12 Lappin had commented that the frequency of some incidents may
13 be greater than those which we have been using and we are
14 looking at that. If that is the case, then we do have some
15 greater problems associated with, not so much with the
16 transportation systems, but in the handling systems at the
17 sites.

18 One problem that we have and you may have a similar
19 one and you may never have it, and that is, trying to get the
20 bad news and there is a tendency in all of us, myself
21 included, to minimize the bad news when we tell people about
22 things. I didn't hear anything today as to why the 15
23 TRUPACTS that have been constructed are not certified by NRC
24 and the thickness of the shipping half-inch steel plate has
25 been reduced through grinding to levels that are unacceptable

1 by NRC. Although, I think it was alluded to that it was an
2 interpretation of the drawings. But, when I was in the boiler
3 business, if you went to ASME and you said you removed 60
4 percent of the thickness of a pressure vessel, you are in
5 trouble. And regardless of what the drawing said.

6 I think that it is essential that we have a system
7 here that is scrutinized and checked over thoroughly and
8 completely. If we wind up shipping something like 100,000, I
9 look at the TRUPACT as the kind that is going to be the DC-3
10 in the transportation industry. That when they came up with
11 the design of the DC-3, it is still out there since 1932 to
12 the present, and I think it is essential that we have a very
13 good system because one can get in the calculations releases
14 associated with these, even though the calculation involving a
15 release is extremely low, but the consequences for the cleanup
16 can be, you know can be considerable.

17 One point that I get into personally, I really don't
18 believe that it is necessary to educate the public on the
19 hazards of these things, but as I see it it is necessary that
20 we have systems in place that the public is confident that we
21 have a formal, structured system to address differing views,
22 differing concerns.

23 For example, as I pointed out very quickly, in this
24 project the Department of Energy is not differentiated between
25 those who are the regulators and those that are the regulated.

1 Who determines that they've met the standards and those that
2 they have not. And in fact in contrast on I believe, Dr.
3 Verink is chairing the Engineered Barrier Panel, that these
4 waste forms at WIPP, there is no commitment to Engineered
5 Barriers, despite the report on the minimum standard, that the
6 waste form is soluble, it is respirable. You can have up to 1
7 percent less than 10 microns of a two kilograms of respirable
8 material in a drum, and it is interesting that NRC has a
9 greater requirement for certain low level waste forms, namely
10 greater than Class B and C, than DOE has imposed upon itself
11 for the waste form on the transuranic waste which is
12 considered by EPA and the standards would be more comparable
13 to high level waste.

14 And one thing I am not probably going to go into and
15 I don't think you are really interested in this one is that
16 you may be curious as to why New Mexico is less than euphoric
17 at this administrative land withdrawal because it may have
18 some implications in Nevada later that occurred in January,
19 that in order to bring waste you've got to either get the
20 Secretary of the Interior to give you a ticket or you get
21 Congress to give you permanence. Well, there is no limit on
22 the amount of waste that can be brought prior to demonstrating
23 compliance with the standards. And the agreement with the
24 statement permit up to 125,000 drums which isn't that
25 dissimilar from the amount that is currently being stored up

1 in Idaho, the RH isn't precluded. The other concern is there
2 is no external oversight authority that EPA has made it clear
3 that with respect to disposal they have no authorities in that
4 area. And that would go through the other ones on that.

5 Just a few of the points in here which you may have,
6 and that is unless there is a clear, regulatory authority,
7 people, and I am not beating on DOE now, and I'm including
8 myself on my income tax if no one is going to audit me, I
9 would probably send in a smaller check, they don't tend to be
10 as thorough in the work that they do than if there is external
11 regulatory control. And I'm not speaking just of oversight
12 now. It took DOE seven years to abandon that rectangular
13 TRUPACT design. It was a long bloody fight. I just had an
14 example I talked with yesterday that WIPP is a mine and the
15 Mining Safety Act of 1977 requires four inspections a year and
16 when I asked what they are doing about the fact that last year
17 there were only two inspections, I was told WIPP is exempt
18 from those laws, which is not exactly the answer I was
19 searching for.

20 And I can't help but note that when we are talking
21 about credibility and confidence with the public, the amount
22 of plutonium in the waste that DOE would like to bring to WIPP
23 for the experiments for the first five-year period, is not
24 that dissimilar from the amount found downstream of the HEPA
25 filters in Rocky Flats which is 28 kilograms. And that is not

1 unique. The NAS report issued pointed out that at Hanford
2 there is 11 kilograms of plutonium downstream of the HEPA
3 system in that facility. And so we all have a major job and
4 as I say, one of the problems in the disposal end, the way the
5 laws are identified now, while we have oversight authority to
6 comment, basically, DOE will decide how well DOE will meet the
7 standards at that DOE facility.

8 And, I guess what I'm saying also is that I see the
9 responsibility of a Board such as yourselves as being a very
10 heavy burden. I note that the Ahearne Committee is scheduled
11 to go out of operation on the first of the year and the
12 Secretary is not planning on reappointing a blue ribbon panel.
13 So it is essential that on these oversight functions, we all
14 do a good job. And as I say, the transportation of these
15 materials to WIPP probably will involve 100,000 shipments
16 through 23 states over a 50 year period. And it is essential
17 for public confidence at all that we really do a first-class
18 job and I am not inferring that DOE is not. I think we have
19 got a good design. NRC has gone through it thoroughly. They
20 put the Good Housekeeping seal of approval on it and I think
21 we are going to have a good one.

22 Another last point relates to this keeping people on
23 their toes. If the EPA standards and Mel Carter is very
24 familiar with these are a modified substantively in their
25 recommendations now to delete the probabilistic approach and

1 to delete the human intrusion scenario, it is conceivable that
2 there could be a delay from the expected date to begin
3 disposal in 1995 to something later, for two reasons. One, if
4 the standards change you may have to go back and restart the
5 clock in part. DOE is taking 10 years to demonstrate
6 compliance with those standards. They were promulgated in '85
7 and they expected to complete the job in '95. But, secondly
8 if the standards are changed or if it is necessary to modify
9 the waste form and you have to construct a facility to modify
10 the amount of gas being generated, or the rate of gas being
11 generated, you could spend up to a half a billion of a billion
12 dollars and it can take anywhere from five to ten years for
13 those efforts. So, I think the bottom line of merely getting
14 that is that it is going to be a long-term project and an
15 effort.

16 Thanks.

17 DR. CARTER: Bob, let me ask you a couple of things. I
18 think one thing for records, you mentioned when you began in
19 your preamble that you were going to brief Chris's boss next
20 week or something to this sort. We have had two Chrises
21 involved in the program today. Both of them have spoken. I
22 assume you are talking about Chris Wentz and not Chris Kouts.
23 Is that correct?

24 MR. NEILL: That's correct. And the structure in New
25 Mexico and it may be helpful elsewhere is that there is a

1 committee composed of the cabinet secretaries that are
2 involved in WIPP and it is called a task force and Ms. Anita
3 Lockwood is the chairman of that task force.

4 DR. CARTER: Okay. The other thing you mentioned 40 CFR
5 191 in closing, of course I think as most of the audience
6 probably knows that the EPA started on this standard some 12
7 years or 13 years ago and it is still not on the books
8 officially. The standard has been remanded and currently it
9 is under review by EPA as you know for possible rulemaking,
10 negotiated rulemaking. And I presume that they will have an
11 answer to that question. I've got a contractor looking at it
12 and I believe it is due out in about May or June of this year.

13 Now the other thing of course is as our chairman
14 pointed out early on this morning, it seems like a long time
15 ago now, of course the Nuclear Waste Technical Review Board
16 does not have responsibility for the WIPP. We have no direct
17 responsibility for them at all, so you have raised a number of
18 issues of course that are a lot broader than the subject of
19 the meeting, namely transportation. But, let me ask you one
20 specific question now, I notice that your 46 reports that you
21 have turned out and I've certainly read a number of them, five
22 of them are in the transportation area and as I recall, the
23 latest one of those or the most recent, if you will is 1986.
24 So that is four or five years ago.

25 So, my question is, right at the moment, and I guess

1 WIPP is either or on the verge of indicating that they are
2 ready to receive the experimental transuranic waste, what is
3 the current evaluation by the EEG now, WIPP transportation
4 program as it involves contact handled waste? I am not
5 talking about any other problems, but just that particular
6 one.

7 MR. NEILL: The most recent reports were all in the past
8 year. Dr. Gallegos there who I identified earlier has just
9 published the one involving the RADTRAN analyses and
10 calculations of the alternate routes. Matt has published one
11 a couple of months before that regarding problems associated
12 with a potential of explosiveness of the waste forms and is
13 out to publish in another few months. And DOE is scheduled to
14 also publish one as well.

15 So, we have been doing a lot of work, and we also
16 reviewed and got into calculations of the does published in
17 the supplement of the EIS which is published by DOE in January
18 1990 and our review is a few months later.

19 One other point you made was on the EPA standards
20 for disposal, although we criticized DOE, unless we have a
21 yardstick to measure the performance of these repositories, we
22 note that the standard will have been vacated four years in
23 June. And that means that none of us have a yardstick to
24 measure the performance, and although we go ahead and do
25 certain things, and in New Mexico we have agreed to make

1 believe the standards exist, and we signed a formal agreement
2 to that effect, if they change drastically, they can.

3 Tony, would you care to comment on Dr. Carter's
4 question regarding the adequacy of the transportation
5 calculations on that and also the chairman had raised the
6 point earlier on the--

7 DR. CARTER: Well, I guess my question, Bob, is a little
8 broader than that. What I am asking you, in spite of either
9 of the other problems related to WIPP and you've identified
10 some as far as your organization is concerned, and you've
11 mentioned certainly some of the past ones in the
12 transportation area, the rectangular container and so forth,
13 well that presumably is hopefully in the distant past. The
14 real question is now at the moment, namely today in March of
15 1991, what is the evaluation of the EEG as far as the
16 transportation program of WIPP with the advent of receipt of
17 waste presumably coming up fairly soon unless there are
18 blocked legal actions or something of this sort.

19 MR. NEILL: The transportation system, I think is in
20 pretty good shape. It really is. We have other concerns
21 relating to the operational readiness and provided a 25 paged
22 document to DOE on January 15 relating to the operational
23 readiness. But, that is not your question. But, on that,
24 that looks pretty good in being able to transport safely these
25 materials. I don't think that the inference that WIPP is

1 truly unique is something, I think we've made a mistake in
2 telling the public. Because, since 1970, we have shipped
3 200,000 of these drums up to Idaho and we have shipped them in
4 box cars, you know rail cars and it hardly has resulted in a
5 swath of death and destruction on the way. We have been able
6 to deal with these and cope with them. There is a concrete
7 slab in a tennis bubble, and you go up there and these guys
8 are moving these six-packs back and forth all day long.

9 And so it is not going to--in fact even on the thing
10 that we really need to bring waste for operational
11 demonstration purposes and there is Nobel Laureate for rolling
12 back the frontiers of science in doing that. But at the same
13 token, we don't see that a small amount of waste for
14 experimental purposes poses an undue threat to the safety and
15 security of either the people on the route or to either the
16 workers at the WIPP site who will be engaged in there.

17 DR. TONY GALLEGOS: I am here to answer any questions.

18 DR. CARTER: You concur with your boss, is that right?

19 DR. GALLEGOS: Incidentally, the documents that Bob put on
20 the table a while ago, the EEG 46 which is the analysis, I'll
21 answer specific questions on the analysis if you wish. I can
22 give you a summary if you wish or I can sit down if you wish.

23 DR. CARTER: What is the bottom line on your calculations
24 using RADTRAN?

25 DR. GALLEGOS: We found that the dose received due to

1 incidental transport which didn't involve any accidents and
2 those that did were statistically insignificant when you
3 compared them with backgrounds.

4 DR. CARTER: Okay, the other question I would have, did
5 you find any other code that you could compare to RADTRAN as
6 far as some verification?

7 DR. GALLEGOS: No, we used the--I did look for different
8 codes and really I think the RADTRAN IV code is far superior
9 to anything I saw. One of the reasons that we went to it was
10 because it was the only one at the time that could do specific
11 highway segments. We cut the segments in New Mexico up to
12 about 43 segments and analyzed them independently. But then
13 it was a task to put them back together and give a
14 generalized analysis for the whole state.

15 So, I am very confident that RADTRAN IV is a good
16 code. It has a sensitivity analysis attached to it. Right
17 now uncertainty analysis is not in it, but other than that, I
18 think it is a very good code. I really can't think of any
19 other one I would use.

20 DR. CARTER: That's what scares a lot of people. I think
21 it is rather unique.

22 DR. GALLEGOS: Yes, and it becomes more and more user
23 friendly as it goes along because they have someone taking
24 care of it and checking it and so on.

25 DR. CARTER: Well, I don't know if Bob Luna is still in

1 the audience but there may be some other Sandia people. I
2 imagine they are pleased to hear this.

3 Thank you, sir.

4 MR. HALSTEAD: If I could just add on that.

5 DR. CARTER: Sure.

6 MR. HALSTEAD: My comments earlier were certainly not to
7 mean in anyway that we are not interested in RADTRAN IV too,
8 although there are portions of it that we are not satisfied
9 that we have seen all the changes, particularly in the
10 accident analysis. But the difficulty that we had with it was
11 simply that because of the peculiarities of the particular
12 routes we were looking at, and remember we were comparing, two
13 essentially four hundred mile routes and there simply wasn't
14 any basis for discriminating between those two routes on
15 either the person rem per shipment or the person rem per year
16 numbers that we were satisfied with from RADTRAN.

17 So even of the code is working properly and you have
18 confidence in it, it doesn't necessarily mean that it gives
19 you a handle to stand before an angry crowd and the town that
20 is going to be on the route that is chosen and justify to them
21 why you've picked that particular route.

22 DR. CARTER: Probably for the record I should say, Mr.
23 Chairman, if you will allow me, when I made the statement that
24 it is a unique code and that is what scares some people, I
25 meant that probably in a complimentary way. The code is one

1 that is unique. There are very few others that you can apply
2 to transportation situations.

3 So, that is what I'm saying essentially there are
4 not three or four more that you can use to compare the results
5 and give you some perhaps more degree of satisfaction or
6 comfort in the calculations.

7 DR. GALLEGOS: That's true. I might add though, that I
8 didn't mention earlier that we did find that the truckers were
9 more susceptible to radiation risk than the others. I think
10 there dose per year is like .2 rems or 200 millirem per year.
11 When you are looking background at around 300 millirems, you
12 probably ought to be careful, because when we did run the
13 code, we noticed that the exposure rate to some of the
14 truckers with some of the waste coming in from the sites did
15 exceed the 2 millirem per hour limit and so one of the
16 precautions we put in there was to make sure they monitor
17 these guys because when you put a different set of waste every
18 time TRUPACTS, the does rate in the cab is different. They
19 are like four meters away from it. So we did find that result
20 in RADTRAN IV to be true.

21 The other thing was that we found that the radiation
22 dose to the people that might be surrounding stopping places
23 was second to the highest. It had nothing to do with
24 population densities or accident rates. And so we also
25 recommended that the regulators or the authorities in New

1 Mexico judiciously select stopping places where they don't
2 expose people to radiation without a reason to do so.

3 DR. CARTER: Thank you very much.

4 DR. PRICE: Ladies and gentleman, I think we have about
5 run out of day. And I wish to thank the speakers today very
6 much. Mr. Neill we appreciated it.

7 I did say at the beginning of the day that if time
8 allowed we would receive comments from the general audience.
9 We are out of time, but that is not deliberate and what I
10 would like to do is extend that offer until tomorrow morning
11 and when we start instead of at the end, when we start, you
12 will have an opportunity for any out of the audience who want
13 to make a comment perhaps with respect to this day's
14 activities. And if you are not going to be able to be here
15 tomorrow and you have something you really would like to say,
16 I would like to really extend that opportunity to you right
17 now.

18 If not, I want to thank you very much for attending
19 and we will declare the session ended and thanks very much to
20 the speakers this afternoon.

21 (Whereupon, the meeting was concluded.)

22

23

24

25

1
2
3
4

CERTIFICATE

This is to certify that the attached proceedings before:

UNITED STATES NUCLEAR WASTE TECHNICAL REVIEW BOARD

In the Matter of:

TRANSPORTATION & SYSTEMS

PANEL MEETING

Location: ALBUQUERQUE, NEW MEXICO Date: MARCH 14, 1991
was held as herein appears, and that this is the original
transcript thereof for the file of the Board.

Official Reporter

FEDERAL REPORTING SERVICE, INC.
17454 E. Asbury Place
Aurora, Colorado 80013