

UNITED STATES
NUCLEAR WASTE TECHNICAL REVIEW BOARD

FULL BOARD MEETING

EVALUATION OF RANGES OF THERMAL LOADING
FOR HIGH-LEVEL WASTE DISPOSAL IN GEOLOGIC REPOSITORIES

October 9, 1991

St. Tropez Hotel
Las Vegas, Nevada

BOARD MEMBERS PRESENT

Dr. Don U. Deere, Chairman
Nuclear Waste Technical Review Board

Dr. D. Warner North, Co-Chair
Nuclear Waste Technical Review Board

Dr. Dennis Price, Co-Chair
Nuclear Waste Technical Review Board

Dr. Clarence R. Allen, Member
Nuclear Waste Technical Review Board

Dr. John E. Cantlon, Member
Nuclear Waste Technical Review Board

Dr. Donald Langmuir, Member
Nuclear Waste Technical Review Board

Dr. Patrick Domenico, Member
Nuclear Waste Technical Review Board

Dr. Ellis D. Verink, Member
Nuclear Waste Technical Review Board

NWTRB STAFF PRESENT

Dr. William D. Barnard, Executive Director
Nuclear Waste Technical Review Board

Dr. Sherwood C. Chu, Sr. Professional Staff

Dr. Leon Reiter, Sr. Professional Staff

Mr. Russell K. McFarland, Sr. Professional Staff

Dr. Edward J. Cording, Consultant

Dr. Roy E. Williams, Consultant

Ms. Paula N. Alford, Director, External Affairs

Ms. Nancy E. Derr, Writer/Editor

FOREIGN GUESTS

Dr. Klaus Kuhn

Gary Simmons

Nils Rydell

Peter Stevens-Guille

I N D E X

<u>SPEAKERS:</u>	<u>PAGE NO.</u>
Opening Remarks and Introduction	286
D. Warner North Nuclear Waste Technical Review Board	
Introduction of Speakers	288
Mike Cloninger, Department of Energy	
Geomechanical Uncertainties	292
Larry Costin, Sandia National Laboratories	
Hydrogeologic Uncertainties	326
Thomas Buscheck Lawrence Livermore National Laboratory	
Geochemical Uncertainties	368
Brian Viani Lawrence Livermore National Laboratory	
Mineralogical Uncertainties	382
David Bish Lawrence Livermore National Laboratory	
Waste Form Degradation and Materials Uncertainties ...	405
Gregory Gdowski Lawrence Livermore National Laboratory	
Biological Resource Concerns	420
Kent Ostler, EG&G Energy Measurements, Inc.	
Enhancements and Other Considerations Associated with Higher and Lower Thermal Loading	
Introductory Remarks	436
Dennis Price Nuclear Waste Technical Review Board	
Introduction of Following Presenters	437
Mike Cloninger, Department of Energy	
Repository/Waste Package Design Enhancements	441
Tom Blejwas, Sandia National Laboratory	
Repository Testing Considerations	449
Tom Blejwas, Sandia National Laboratory	

I N D E X
(Cont.)

<u>SPEAKERS:</u>	<u>PAGE NO.</u>
Near-field Environment Testing Considerations	463
Wunan Lin Lawrence Livermore National Laboratory	
Waste Form and Materials Testing Considerations	471
Gregory Gdowski Lawrence Livermore National Laboratory	
Introduction of Speakers	477
Dennis Price Nuclear Waste Technical Review Board	
Candidate Engineered Barrier Concept	477
Peter Stevens-Guille, Ontario Hydro, Canada	
Preclosure Thermal Enhancements	496
George Danko, University of Nevada	
Geologic Heat Pipes	516
Russ McFarland Nuclear Waste Technical Review Board	
An Overview of Preclosure Ventilation Options	520
Antony Ivan Smith Tunnel Technical Corporation	
Gary Sandquist, University of Utah	
Appendix B	
An Overview of Preclosure Ventilation Options By: Antony Ivan Smith and Gary M. Sandquist	

1 for the important issues we will be addressing today. We are
2 all looking forward to the upcoming presentations by those
3 working at the national laboratories. Today's presenters
4 have been asked to talk about how alternate levels of thermal
5 loading will affect specific technical areas. For example,
6 the U.S. design calls for high temperatures to help keep
7 water away from containers for hundreds of years by boiling
8 away any moisture that approaches the engineered barriers.
9 However, what will happen to the host rock as a result of the
10 high thermal pulse and the resulting cooling? How will such
11 high temperatures affect the geomechanics, the hydrogeology,
12 and the other mineralogical characteristics of the surround-
13 ing host rock? What will happen as the rock cools? Will the
14 natural system continue to provide adequate waste containment
15 under this kind of high thermal loading?

16 During licensing, DOE as the applicant will have to
17 demonstrate an understanding of the effects of the thermal
18 pulse on the repository and the engineered barriers. DOE
19 must demonstrate that the repository and its subsystems will
20 perform according to the established standards.

21 We have asked that the speakers today address six
22 questions about their respective areas of expertise that
23 could be affected by low versus high thermal loading. The
24 questions are: (1) What are the potential problems associated

1 with each area; (2) What is the significance of each of the
2 potential problems; (3) What are the uncertainties associated
3 with each of the potential problems; (4) Can these uncer-
4 tainties be resolved; (5) How much time and money will be
5 needed to resolve these uncertainties; and, finally, (6) Will
6 there be residual uncertainties?

7 After lunch, our afternoon session will center on
8 the enhancements and other considerations associated with
9 various alternative thermal loading concepts. Later in the
10 afternoon, we will hear a presentation by Mr. Peter Stevens-
11 Guille of Ontario Hydro who will discuss the candidate
12 engineered barrier concept. I've asked the Board's staff to
13 take notes on today's presentations and to identify the key
14 issues to address tomorrow afternoon during our Roundtable
15 Discussion.

16 We have a great deal to do today. So, at this
17 point, I will turn it over to Mike Cloninger who is Branch
18 Chief of Field Engineering at the Yucca Mountain Site Charac-
19 terization Project Office. Mike specializes in waste package
20 and repository design and he is DOE's technical lead for this
21 meeting. He will make some opening comments and introduce
22 this morning's speakers.

23 Mike?

24 MR. CLONINGER: Thank you, Warner. As Warner already

1 said, I'm Michael Cloninger with the Yucca Mountain Project,
2 Chief of Field Engineering. This morning's session deals
3 with uncertainties associated with high and low thermal
4 loading.

5 The DOE's position is that establishing and under-
6 standing these uncertainties is key, crucial in fact, to the
7 success of the program. The DOE's program focuses on reduc-
8 ing the overall uncertainty to an acceptable level. And, by
9 acceptable level, we mean that within the remaining margin of
10 uncertainty at the end of site characterization, license
11 application development that we, the Department of Energy,
12 feel that within our design margin everything will work in
13 compliance with the regulations and to our satisfaction that
14 the public health and safety is adequately protected.

15 I might point out that for the Yucca Mountain site
16 and unsaturated zone site unique around the world reducing
17 the thermal loads may not necessarily result in reducing the
18 overall uncertainty, as you will see in some of the following
19 presentations and, in fact, current evidence indicates
20 presently quite the opposite.

21 The Department considers this morning's session to
22 be the real focus of this meeting and the subsequent dis-
23 cussion, particularly the Roundtable tomorrow. The presenta-
24 tions this morning do deal with the uncertainties regarding

1 high versus low thermal loading and you'll note that these
2 topics are arranged somewhat in the order of the key inter-
3 faces among these general technical areas, although there are
4 a couple processes that exist well beyond just the interfaces
5 adjacent here. In other words, geomechanical response of the
6 overall system will have impacts on the hydrologic system.
7 The hydrologic system has responding to that, plus the
8 thermal load, will have geochemical and mineralogical impli-
9 cations. We are not going to address these coupled inter-
10 actions and multiple interactions to any great degree at this
11 meeting; however, within the next two to three years, we
12 expect to be able to address those in some detail.

13 The program for this morning will start out with
14 Larry Costin from Sandia National Labs discussing the geo-
15 mechanical or rock mechanics, thermal mechanics uncer-
16 tainties; followed by Tom Buscheck of Lawrence Livermore
17 National Laboratory who will discuss some of the hydrologic
18 uncertainties. Geochemical uncertainties, a related topic,
19 will be presented by Brian Viani of Lawrence Livermore
20 National Lab. That may be in error. Mineralogical uncer-
21 tainties, very closely related to the geochemical and hydro-
22 logic uncertainties will be presented by David Bish, Los
23 Alamos National Laboratories. The waste form and waste
24 package materials, repository materials uncertainties will be

1 presented by Greg Gdowski of Livermore. And, a fairly new
2 topic, I think, to the Board, the biological resource con-
3 cerns at the surface due to any imposed thermal increase or
4 temperature increase on the surface will be presented by Ken
5 Ostler of EG&G.

6 The next slide in your package is missing one of
7 the questions that Warner discussed earlier. I won't go
8 through these in any great detail. However, will there be
9 residual uncertainties? Yes, of course, there will be. We
10 cannot do the 10,000 year test. If so, how much? Again, if
11 there's too much, we can't go forward with the license appli-
12 cation. If we feel that we can bound those uncertainties,
13 show compliance with health and safety requirements for the
14 total system, we will go forward. As far as how much time
15 and money will be needed for resolution of the uncertainties,
16 that is within the program.

17 The speakers this morning will be focused on tech-
18 nical subjects, not financial or schedule topics. If you do
19 have questions regarding schedule or costs, please address
20 them either to myself or to Max Blanchard here in the audi-
21 ence today. Along those lines of costs and schedule, the
22 resolution of these uncertainties is included in our long-
23 range plan throughout the period towards license application.
24 The approach is included in the site characterization plan

1 and it's associated study plans, test plans, and other plans.
2 The currently planned budget and schedule can accommodate
3 quite a wide variation in thermal loading. However, we need
4 to point out that for very, very low thermal loading we would
5 have to change our test program, performance assessment
6 program, and probably our license application basis.

7 Without further delay, I would now like to go to
8 the program and our next speaker will be Larry Costin from
9 Sandia National Laboratories who will discuss geomechanical
10 uncertainties.

11 DR. NORTH: Mike, before you leave, I think we would
12 like to come back to the issue of schedule and budget and
13 have some discussion of that at an appropriate time.

14 MR. CLONINGER: Certainly. Okay.

15 DR. NORTH: So, we will not consider that as a question
16 we're going to put to the speakers as they go along, but I
17 don't want it to drop off of our list. I want to make sure
18 we address it and, given the budgetary climate in which the
19 program is presently operating, ask the question given the
20 budgetary reductions, what is the impact on this aspect of
21 the program?

22 MR. CLONINGER: Fair question. Thank you.

23 DR. COSTIN: My topic is going to be addressing the
24 geomechanical uncertainties. It seems a little bit of a

1 redundant title. Anything with "geo" is definitely uncer-
2 tain. So, you'll see in the next slide here that I've tried
3 to put together a road map of how I'm going to step through
4 this presentation. First, I'm going to talk a little bit
5 about what the impacts of various loading schemes might be on
6 the geomechanics of the repository. Then, we'll talk a
7 little bit more specifics about how those uncertainties are
8 translated into looking at the rock mass properties, the
9 effects on the rock properties themselves, what you have to
10 think about in terms of failure criteria. These topics then
11 cascade on down into additional uncertainties that you have
12 with the induced stress changes with time. Those, of course,
13 depend on the rock properties and the rock mass properties.
14 These have an impact then on drift stability, fracturing,
15 changes in permeability that might come about as a result of
16 these additional induced stresses. Those then cascade on
17 down into another level which how do you deal with those in
18 terms of your design? How do you deal with these uncer-
19 tainties in terms of the design? You have to do additional
20 modeling. This means looking at developing more advanced
21 models, doing additional testing in order to validate those
22 models, and finally to get into how you incorporate that into
23 your design methodology to look at designing a repository so
24 that you can take into account these cascading uncertainties.

1 So, I'll leave that road map up there for a little
2 bit and we'll start out with the first box here and we'll
3 principally address what's the problem? You know, we have
4 potentially additional loading due to the thermal impact of
5 the waste, but does that really present much of a problem for
6 the geotechnical side? The major problem comes about really
7 in our estimation because of the changes in the magnitude of
8 the stress field with time. You not only get changes in the
9 magnitude of the stress field with time, you get changes in
10 the orientation of the stress field with time. And, that's
11 perhaps a bigger impact than just dealing with the magnitude
12 of the stress changes.

13 You have some thermal effects on the rock
14 properties themselves. As you heat it up, the properties of
15 the intact rock change. When you have these additional
16 thermal loads, you have to consider what are the effects of
17 temperature on your support structure? What kind of support
18 materials can you use that will not be impacted in the long-
19 term by additional heating? Then, you have to look more
20 carefully at what's the interaction between the rock mass and
21 your support structure as you go through this large thermal
22 cycle. So, these are some of the additional things that you
23 have to consider in looking at the geotechnical aspects of
24 underground structure when you have to consider this thermal

1 pulse.

2 Just to give you an idea of what I meant by those
3 first couple of bullets, this is a viewgraph that, I think,
4 both Tom Blejwas and I have used quite often. Just to demon-
5 strate what we mean by changes in magnitude and direction of
6 the stress field. This was a calculation done for a floor
7 emplacement of a drift. At the time the drift is excavated,
8 these little crosses here represent the horizontal and verti-
9 cal components of the stress field. And, as you can see, in
10 an unheated case after excavation, the principal stresses
11 are--the greatest principal stress is vertical and of not
12 that great of magnitude. As heating begins, you can see
13 quite dramatically that not only the magnitude of this stress
14 field changes, but it begins to rotate. And, if you have a
15 highly jointed structure out here, vertical and horizontal or
16 whatever kind of jointing structure, this rotation then is
17 going to induce different shear stresses. You may activate
18 joints that under this circumstance would be quite stable.
19 You not only rotate the stress field and get much larger
20 stresses--the calculation was cut off at 100 years--but then
21 you can imagine what happens in the long-term as things begin
22 to cool down, these things begin to rotate back. And, so
23 you've initially done some damage. You may have shifted the
24 joint structure here, and then as things cool down, you get

1 residual stresses built up. Things may pop back the other
2 way. So, this is the major concern that we have to deal
3 with.

4 So, let's go and talk a little bit about what these
5 kinds of uncertainties might be and I'll give some examples
6 and try to go through this primarily by example. Look at
7 what the thermal effects on the rock properties themselves,
8 in terms of thermal conductivity, expansion, changes in rock
9 modulus, effects on the failure of the intact rock.

10 If you look at thermal conductivity as a function
11 of temperature, it's really almost temperature independent.
12 The only effect is, is whether you have water in the system
13 or you've dried the system out. As you dry the system out,
14 the conductivity decreases somewhat in most cases, although
15 there is few cases where it increases slightly depending on
16 the mineralogic content of the rock. So, there's not really
17 that much of an effect on the conductivity.

18 There's a slightly bigger effect on the thermal
19 expansion behavior of the rock. Down here in the lower
20 temperature regimes (indicating), thermal expansion is pretty
21 much linear. As you get up into this region (indicating), it
22 begins to go non-linear primarily because you're getting
23 phase changes, I believe, in some of the minerals that cause
24 volumetric expansion, as well as just the volumetric expan-

1 sion due to the thermal component. So, you're getting alter-
2 ation of minerals which will be talked about later which
3 increases the apparent expansion of the rock beyond what you
4 would predict from, say, the sort of linear thermal expansion
5 coefficient. So, one of the things is keeping the tempera-
6 ture limits near the borehole away from this kind of a region
7 to allow you to have a better borehole stability.

8 Modulus of the intact rock, there's some effect on
9 temperature. This represents basically two series of tests,
10 one at room temperature and one at 150°C. You can see there
11 is a slight decreasing trend within the scatter of the data.
12 These tests were uniaxial tests at a strain rate of 10^{-5} .

13 And, finally, we'll take a look at intact rock
14 failure. These were from uniaxial compression tests. Here,
15 the scatter in the data begin to kind of overtake the
16 apparent decrease in the strength, although if you average a
17 fairly large number of tests, you do see a slight decreasing
18 trend. But, again, there is at room temperature a very large
19 scatter in the data and it's not clear that any additional
20 uncertainty would be introduced into this system as you heat
21 it up because, as you can see, there's still a very large
22 uncertainty even at room temperature or temperatures at the
23 working area.

24 DR. LANGMUIR: Larry?

1 DR. COSTIN: Yes?

2 DR. LANGMUIR: Those tests, are you using the rock at
3 any particular orientation or is it randomly; in other words,
4 a cross bitting?

5 DR. COSTIN: Those tests were taken from a core that
6 were recovered from some of the early core holes. And, also
7 some tests were done on outcrops from Busted Butte (phonetic)
8 and I'm not sure what the orientation was, but I suspect it
9 was primarily--the loading axis was primarily a vertical
10 orientation. I don't think there is that great, at least in
11 the modulus and failure, that there is that great of an
12 influence in the Topopah Springs, anyway, of orientation. I
13 know Ron Price has done some tests to look at anisotropy and
14 there is a small effect, but it's certainly again one of
15 those effects that within the scatter of the data. So, it's
16 really hard to detect.

17 Well, now that we've seen the effects on the intact
18 rock, we now have to look a little bit broader horizon and
19 say what's the impacts then on the rock mass itself where you
20 have intact rock plus the rock structure that joints, et
21 cetera. So, let's take a look at what the impacts might be
22 on the rock mass. The interesting thing about considering a
23 rock mass and having a highly jointed structure is that the
24 joints really cause you to get this coupling between the

1 thermal expansion and the rock mass modulus. In other words,
2 the stresses that you can develop in the rock mass are highly
3 dependent on the jointed structure. If you have a very poor
4 quality rock, you can't generate the kinds of stresses even
5 at the same temperature that you can with a far less jointed
6 rock.

7 DR. DOMENICO: Larry, is that the bulk modulus? What is
8 the rock mass modulus? --bulk modulus?

9 DR. COSTIN: The rock mass modulus is the equivalent of
10 Young's modulus, but for, say, a large rock mass including
11 the structure.

12 DR. DOMENICO: Okay. It's the reciprocal of the com-
13 pressibility?

14 DR. COSTIN: Yeah.

15 DR. DOMENICO: Okay.

16 DR. COSTIN: In doing the design, what you would like to
17 be able to do is to know the rock mass modulus so that you
18 can use some simple elastic calculations to try to calculate
19 what the stresses are around openings and things like that.
20 You can't use the intact modulus because the intact modulus
21 gives you a much higher value than the modulus that would see
22 with intact rock plus joints because you have these fractures
23 in there that cause the system to be much more compliant. As
24 you get this volumetric expansion of the rock due to heating,

1 it actually tightens up these joints and so you have an
2 apparent increase in the rock mass modulus as you begin to
3 heat things up.

4 The stresses then that you generate become a non-
5 linear function of temperature and you can get changes in the
6 permeability in the near-field because either joints are
7 closing, or if you create shear stresses, you may, in fact,
8 dislodge joints and create new pathways. So, these are the
9 kinds of things that you have to look at when you're dealing
10 with the rock mass.

11 To give you an example, if you look at--this was
12 some experiments done on joints in tuff to look at the com-
13 pressibility of a joint and it's basically a cylinder with a
14 joint in it that's compressed and gauges are used to distin-
15 guish the difference between what the compressibility of the
16 intact rock is and the compressibility of the rock plus the
17 joint. So, you can subtract out the rock and get what the
18 effect of the joint itself is. In our modeling, we try to
19 simulate this behavior by again separating out the effect of
20 the intact rock and the joint and we do put in a different
21 compressibility for the joint itself. So, we treat those as
22 two separate entities and try to combine them in order to
23 understand what the behavior of the rock mass is. And, in
24 the models, we have the ability to look at both orientation

1 and numbers of joints in a continuum sense. This model is a
2 continuum sense. So, that's why it's called a compliant
3 joint model or a continuum joint model.

4 The effect of looking at that, the point I want to
5 get to, is if you do a calculation, a typical calculation of
6 floor emplacement, this one was done for an 80 kW/acre case.
7 And, you look at the stresses that are generated based on
8 the kind of constitutive behavior that you put in, either
9 linear elastic or something more sophisticated like a
10 compliant joint or a continuum joint model, and you look at
11 the stresses generated. You can get quite different answers
12 depending on the kind of model that you're looking at.

13 And, what I want to do is to show a comparison of
14 what the stresses are along this center pillar line in the
15 next slide just to give you an example. This upper curve
16 here is a linear elastic calculation based on using a rock
17 mass modulus, as the Young's modulus and the elastic calcula-
18 tions, and the modulus itself was taken from moduli that were
19 measured in G-Tunnel. So, it's approximately half of the
20 intact rock modulus, but it's kept constant, not a function
21 of temperature. As you can see, when you account for both
22 the intact rock modulus and how it changes with temperature
23 and the fact that you have joints at a certain spacing and
24 orientation, the more sophisticated models that include the

1 joints calculate this behavior. And, this was done with a
2 couple of different models, different codes, and they all
3 tend to agree. You can see that away from the canister which
4 is placed here, that below the canister and above it, that
5 the two calculations will tend to agree in areas that are not
6 heated because the modulus of the rock is changing consider-
7 ably as you heat it because the joints are tightening up. In
8 fact, the modulus of the rock where you get it quite warm is
9 almost the intact modulus because the joints are compressed
10 together so tightly that the rock mass behaves as though it
11 were intact rock.

12 DR. DEERE: Question?

13 DR. COSTIN: Um-hum?

14 DR. DEERE: What was the assumption of the initial state
15 of stress and how sensitive are your results to that assump-
16 tion?

17 DR. COSTIN: Okay. The initial state of stress is just
18 the gravitational loading plus we include a horizontal stress
19 that's a fraction of that. So, the initial stress state--
20 what we did was you have the model put together. You load it
21 with an initial in situ stress of about 5MPa vertical and I
22 think it's 2-1/2 or 3 horizontally. Then, you excavate out
23 the cavity or you kill off those elements that are in the
24 cavity, let it come to an equilibrium state. So, you now

1 have an equilibrium state known for just the excavation.

2 Then, at some later time, we turn on the heater and watch
3 what happens after that.

4 DR. DEERE: Right. But, my question is if you used a
5 half then for the in situ state of stress, the horizontal
6 with respect to the vertical, what difference would it make
7 if you had a value of $3/4$ or 1 which might be present, or 1-
8 $1/2$ even, horizontal times vertical?

9 DR. COSTIN: Actually, in this case, it would probably
10 cause a bigger difference here because the fact that as time
11 goes on you get large horizontal stresses, it tends to close
12 these joints up. If you have an initial state of stress
13 that's horizontally much larger or much smaller than the
14 joint spacing that you can accommodate by this volumetric
15 expansion would be more or less. So, if you had initially a
16 much higher horizontal state of stress, then the difference
17 between these calculations would be less. If you had a less
18 horizontal stress to begin with, then the difference between
19 these would probably be slightly more.

20 DR. DEERE: Right.

21 DR. COSTIN: But, you can see by the magnitude of these
22 that the 2 or 3MPa initial horizontal stress probably would
23 get lost in the noise.

24 DR. DEERE: I think it would be interesting when you're

1 making these studies to use a range of values.

2 DR. COSTIN: And, we do in many cases.

3 DR. DEERE: And then, I think your test program for the
4 access drifts do have incorporated a number of in situ test
5 determinations.

6 DR. COSTIN: The point I really wanted to make with this
7 was that we do intend to measure this rock mass modulus and
8 to use that in design calculations. However, you've got to
9 be careful about what the implications of that are. You're
10 measuring this rock mass modulus at the nominal in situ
11 temperatures. As those temperatures change, you've got to
12 understand that that rock mass modulus is going to change,
13 but it at least gives us a point to start pinning our calcu-
14 lations to and then we'll have to predict how that's going to
15 change or we'll have to be able to measure the rock mass
16 modulus as a function of temperature in some of the heated
17 experiments which we hope to be able to do.

18 DR. DEERE: Right. And, another comment, if I may,
19 while we're on this because this is the appropriate forum
20 since you're dealing with the geomechanics. You recall at
21 our meeting, I believe it was in Denver, when we talked about
22 the rock mechanics testing, we discussed a little bit the
23 possibility of using the radial jack so that you could incor-
24 porate a much larger volume which I think could be very

1 beneficial to try to get some information on the directional
2 properties of your modulus.

3 DR. COSTIN: Right.

4 DR. DEERE: It allows you to go in every direction.
5 Have you given any thought to that?

6 DR. COSTIN: We've given thought to it and we have put
7 it into our plans that we intend to investigate that. And,
8 in our initial test planning packages, we've taken that into
9 account, that we may do different kinds of tests under the
10 same name. We may do some traditional plate bearing tests.
11 We may do other kinds of tests depending on the location and
12 the size of drifts that we can get access to.

13 DR. DEERE: Thank you.

14 DR. ALLEN: On that last graph, what causes the asym-
15 metry in the curve on the two sides of the zero point?

16 DR. COSTIN: Because the zero point is the floor of the
17 drift, not the middle of the canister.

18 DR. ALLEN: The floor of the drift, okay. Okay.

19 DR. COSTIN: And, in this calculation, we do take into
20 account the fact that you have air in the drift and you have
21 radiative and convective heat transfer across that drift and
22 that makes a considerable difference in the temperature
23 profiles that you get around the drift. It's a more truer
24 near-field calculation than what you saw yesterday.

1 DR. CORDING: Question, Larry. Is that profile right
2 through the drift?

3 DR. COSTIN: No, that's in the centerline of the pillar.

4 DR. CORDING: The centerline of the pillar. I guess, it
5 seems that very sharp difference at that distance away from
6 the opening seems--intuitively, it didn't seem so obvious to
7 me.

8 DR. COSTIN: It's along this line. This is -100 and
9 that's +100.

10 DR. CORDING: Yeah.

11 DR. COSTIN: And, as you look at--now, this is not an
12 isolated drift, okay? This is a repository type calculation
13 where this is a plane of symmetry. So, there's another drift
14 over here being heated and these things are infinite in this
15 direction. That's a 2-D calculation. So, you're actually
16 getting the effect of other drifts or other neighbors that
17 are on down the line or impacting the calculation there, as
18 well.

19 Well, let's begin to work our way down in this part
20 of the road map and talk about uncertainties with respect to
21 how you go about considering these things in the design
22 process. There are always uncertainties associated with in
23 situ conditions and the rock quality independent of whether
24 you're going to heat it or not and those probably would not

1 change much. The thing where thermal effects probably intro-
2 duce the most uncertainty is that in the more traditional
3 design methods for underground structures they tend to be
4 more in the line of empirical methods that have been vali-
5 dated by extensive case history. Some of those case his-
6 tories do include very deep mines that have high thermal
7 stresses, but they don't change with time or they don't
8 change much with time except for effective ventilation.
9 There is really very little experience with the kind of
10 situation that we're dealing with here. So, we don't want to
11 ignore these. In fact, we intend to use them, but we also
12 have to back those up by some additional work if we're going
13 to incorporate and understand what the thermal stresses are
14 going to do to the excavations. So, we incorporate the
15 thermal component by taking a look at more advanced numerical
16 methods and that's going to require additional constitutive
17 model development which then requires more in the way of
18 validation in the field scale tests.

19 So, this is really where the bulk of the effort to
20 resolve these issues is going to come in, in that you have to
21 do these additional field tests to look at what the thermal
22 effects are in order to help validate your models which you
23 can then have confidence in in doing the design.

24 DR. CANTLON: In your empirical methods, has there been

1 any look at natural analogs where you've had volcanic events
2 through tuff where you had long thermal pulses and then
3 cooling? Has anybody looked at the properties of tuff?

4 DR. COSTIN: That's a good suggestion. I don't recall
5 specifically anybody putting together a case history like
6 that that I've seen anyway.

7 DR. CANTLON: It would seem the natural place to look
8 for--

9 DR. COSTIN: One can look at evidence of regions of tuff
10 that have gone through this thermal cycle and look for what
11 impact that has on the rock mass.

12 DR. CANTLON: Yeah. Sure.

13 DR. COSTIN: The problem is you don't know exactly what
14 the conditions were before. You know what they are after,
15 but you don't quite know what they were before.

16 Of course, more than just thermal loads have to be
17 considered when you're looking at your design and I tried
18 here to sort of give you an idea of what all goes in to
19 developing a design methodology. The main thing you want to
20 be able to predict is you want to be able to predict the rock
21 mass behavior under whatever conditions you anticipate. In
22 order to do that, you have to know a lot of things and those
23 things have to be then synthesized into some kind of an
24 approach to design.

1 I'll give you a quick idea of what I mean by the
2 requirements block there. This has been discussed several
3 times yesterday. So, I won't belabor the point, but we did
4 talk about SCP goals and how they were derived, what impacts
5 they might have on the design and the development then of
6 design criteria. So that you can check your design against
7 these goals. That's not to say that these goals then can't
8 change. These were tentative goals set in the SCP. As we
9 get into the design process, it's certainly an iterative
10 process to look at what are the best goals that help you
11 satisfy the requirements, the upper level regulations.

12 Another thing that's often done in the design
13 process is to try to account for the uncertainty in the in
14 situ conditions by looking at indexing the rock quality or
15 developing some kind of an index measure of rock quality.
16 Maybe I'll put this up here. What I'm doing is I'm going to
17 talk a little bit about some of these bubbles here. This is
18 just a couple of different index systems that are used quite
19 often in tunneling and underground excavations; the Nick
20 Barton NGI System, the rock mass rating system. And, you can
21 see that to get a single measure, a number that represents
22 the rock quality, you look at a variety of things that help
23 you sort of judge what the goodness or badness of a par-
24 ticular rock mass might be. The interesting thing in the NGI

1 System is this stress reduction factor and we kind of keyed
2 on that a little bit just to see whether we would alter that
3 system in order to try to account for the thermal stresses,
4 as well as the in situ stresses. And, what we did was we
5 tried to put together a--this is a plot from some of Nick
6 Barton's work and basically to look at what kind of support
7 measures might be needed in an excavation of a given size
8 versus the quality of the rock.

9 So, what we did was to try to superimpose on that
10 just to give you an idea what kind of a region we figure
11 we're working in. Based on preliminary looks at the core
12 that's been recovered from the TSw1, we have a range of rock
13 quality that's sort of this span (indicating) and the spans
14 of the repository room look something like that (indicating).
15 But, this block is actually bigger than the calculated rock
16 mass quality would be at room temperature because in this
17 factor here we tried to include what the impact of thermal
18 stresses would be. So, what the impact is that really it
19 tends to--if you go to higher thermal stresses--this one was
20 done for 57 kW/acre. If you go to higher thermal stresses,
21 say 80, it would tend to stretch the shaded area over into
22 this region. It wouldn't have much impact over here because,
23 as I mentioned before, what happens is the poorer quality
24 rock can't support the thermal--or accommodates the thermal

1 expansion much better because you can't generate the kind of
2 stresses that you can at this end. So, what happens is you
3 get a little more action at this end, not too much action at
4 this end, as you adjust your thermal stresses. And, in that
5 plot, really, the range of things that you're looking at
6 doesn't change a whole lot.

7 A little bit better way to look at it might be from
8 this plot and that is this is based--well, I have both
9 indexes put here. This is based on some work by Hoek & Brown
10 and we tried to shade in a square that sort of represents the
11 ranges of values that we would be looking at, including the
12 range of stresses at 57 kW/acre that you might experience
13 around a drift. Again, if you did a specific case where you
14 knew what the ranges of rock quality were, you would find
15 that the shaded area or the area that you would be working in
16 would not be a square, but it would be kind of pointed out at
17 the top where you have the--the poorer quality rock simply
18 cannot generate these kinds of stresses. So, this really
19 part of the diagram kind of ends up getting missing or ends
20 up being deleted because you can't have this poor of a qual-
21 ity a rock and generate these kinds of stresses. So, you get
22 kind of an eclipse square there. But, anyway, it allows you
23 to see that if you did increase or decrease the thermal
24 loading what type or how you would affect the sort of the

1 ranges of support that you might need in your repository.

2 As I said, that's kind of a look at the empirical
3 point of view. If we go back to the numerical point of view,
4 what are the uncertainties in being able to develop models
5 that are going to be predictive of the kinds of loading and
6 long term stability of the drifts that we need? What we've
7 done is for the design analysis we've put together a scheme
8 that basically allows us to do linear combinations of loads;
9 in other words, we take into account all of these, combine
10 them together, look at what the total load is on a drift, and
11 then try to decide--of course, because of the thermal loads
12 that's going to change as a function of time. The interest-
13 ing part about it is that, of course, the stresses depend on
14 time because the temperature is changing. They depend on the
15 rock quality which, of course, depends on the drift location
16 and the temperature history also depends on the drift loca-
17 tion. So, you have to take all of those into account.

18 What I want to do is just go through a very quick
19 example before my time runs out. This is just to give you an
20 idea of what the coordinate system is and give you a compar-
21 ison. If we look at the thermal stresses, this is at 100
22 years for the case of 57 kW/acre and we've categorized the
23 rock mass quality into five broad categories from very poor
24 to very good. If you look back at those charts, you'll see

1 what those translate to. And, you can see that the stresses
2 at the same point in time at the same place, depending on
3 what the rock quality is, can be quite different. So, you
4 have to take into account the uncertainties in the geologic
5 structure and the uncertainties in the thermal history.

6 To look at it from a slightly different point of
7 view, this should be a midpanel drift. This is as a function
8 of time, and if you look at how the thermal stresses change
9 as a function of time, this last one is intended to be a
10 comparison between the 57kW case and the 80kW case. So, you
11 can see what the stress impact of the thermal stresses would
12 be locally.

13 What we do then is to take that information from
14 those drift calculations and try to exercise that through a
15 number of different codes to look at what the impact is as
16 far as stability and joint structure. This is a calculation
17 from the same configuration that I showed you earlier, what
18 we call the benchmark calculation. This basically gives the
19 regions at 100 years around the drift in which some joint
20 slip has occurred. And, this is based on the calculations
21 from a continuum model in which the criteria for joint slip
22 is incorporated into the calculations and so we can figure
23 out which one of these cells you saw some joint slip. It's
24 interesting that the slip, while it appears to radiate quite

1 far from the drift, actually the slip is occurring on hori-
2 zontal joints, not on the vertical joints. The vertical
3 structure is much finer than the horizontal structure in this
4 case. I think there's about 10--we put in 10 joints per
5 meter vertically and about one joint per meter horizontally.
6 But, the predominant prediction of slip is on the horizontal
7 joints primarily because at 100 years, you recall, you have a
8 very high horizontal stress. That locks up the vertical
9 joints. They don't do much. They just close down.

10 DR. CORDING: Larry, in that diagram, that doesn't mean
11 that that slip continues. It may mean you've reached a peak
12 and there might be a slight amount of--

13 DR. COSTIN: It means sometime in the past 100 years, a
14 joint reached the condition where it could slip in that cell.

15 DR. CORDING: And, it might have moved a few tenths of a
16 millimeter and relieved itself.

17 DR. COSTIN: Tenths of a millimeter, right. It makes no
18 prediction about what the change in permeability might be.
19 That, you have to look at the actual magnitudes of the slip.
20 Then, you have to go back again to your experimental data
21 and look at the roughness of those joints and how that might
22 impact the changes in permeability.

23 This is just the same sort of calculation using a
24 different criteria, a more classic Drucker-Prager-Young

1 criteria and to look at the zones that at the same time
2 satisfy that criteria. So, by using these kind of plots, you
3 can get an estimation of what the damage zone is or what the
4 zone of impact around these drifts are. What you want to do
5 according to the criteria that were discussed yesterday or
6 the goals was to limit that to some reasonable amount that
7 can be contained within the near-drift or the near-field
8 area. What you don't want to do is to create long preferen-
9 tial pathways or extend fractures away from the drift in such
10 an extent that you might connect to them with upper horizons
11 or lower horizons to allow water to flow much more quickly.
12 You want to limit that to the near-drift field.

13 Next, I'm going to skip that and let's just sum-
14 marize. From the geomechanics point of view, there really
15 are some advantages to both higher and lower thermal loading.
16 Certainly, the lower thermal loading or no thermal loading
17 would make the designer's job a lot easier. He doesn't have
18 to worry about developing more complex models, he doesn't
19 have to worry about additional analysis, and he doesn't have
20 to worry about more confirmation testing. So, it would make
21 his job a little easier. However, some of the advantages are
22 that, as I mentioned before, because of the volumetric expan-
23 sion you can, in fact, tighten up the joint structure and
24 make the rock more competent at higher temperatures.

1 The higher thermal loads potentially could decrease
2 the fracture permeability around these drifts. And, so water
3 trying to percolate away from the drifts would have a harder
4 time or would have to go through the matrix rather than the
5 fractures.

6 DR. LANGMUIR: Larry, does this also apply to heated
7 waste that's producing vapor, steam under pressure? Is this
8 going to--what does that do to you?

9 DR. COSTIN: That, you'll have to ask Tom Buscheck.

10 DR. DOMENICO: Larry?

11 DR. COSTIN: Yes?

12 DR. DOMENICO: Is Tom going to answer your question now
13 or later?

14 DR. COSTIN: Probably later.

15 DR. DOMENICO: The thermal expansion that's going to
16 close these fractures, the thermal expansion of the rock mass
17 is going to be controlled by the thermal expansion of the
18 individual minerals making up the tuff which may be ortho-
19 clase, pyroxens, what is in there. At the temperatures
20 you're considering, how do you know you have not passed the
21 elastic regime and are basically having an inelastic thermal
22 expansion which I think would not certainly increase the rock
23 quality, but would decrease it? Because I don't see any
24 resistance to thermal expansion into open fractures. It's

1 not going to be working against any stress. And, at those
2 temperatures, I would start to suspect that a lot of the
3 thermal expansion you're seeing, the bulk is a result of
4 inelastic response of the individual minerals. Have you
5 looked at that, at all?

6 DR. COSTIN: There's been a number of tests done to
7 measure thermal expansion on small cores. To my knowledge,
8 it shows that that strain is virtually entirely recoverable,
9 at least at the temperatures I showed on that plot up to
10 about 300°. Now, when you get above 200 or so, then you
11 begin to get phase changes which are nonrecoverable. That's
12 why the thing begins to spread out. So, I think if you keep
13 temperatures below about 200°, it's virtually all recover-
14 able. If you get above that where you begin to see major
15 volumetric expansion due to phase changes, then you have a
16 problem in recycling.

17 DR. DOMENICO: Is it phase changes or inelastic behavior
18 or it would probably be both?

19 DR. COSTIN: Probably both. There is some inelastic
20 behavior everywhere, but from what I understand or what I
21 have read from the people that have done the tests--and Fran
22 Nimick would be the one to really ask about this--

23 DR. DOMENICO: Well, I didn't realize you were talking
24 about 250°C into this entity of the--

1 DR. COSTIN: That is right and that is why the near-
2 borehole region was limited to or those temperature goals
3 were put on the near borehole region was to limit the amount
4 of thermal expansion that you could get and not get into the
5 region where you get very large volumetric strains due to
6 phase changes.

7 DR. ALLEN: But, you feel confident that this strain is
8 recoverable even at elevated temperatures over hundreds of
9 years?

10 DR. COSTIN: That, we don't know. I wouldn't make any
11 prediction about that. The only data that we have is from
12 heating it up over a day or so and cooling it back down and
13 trying to measure accurately the changes in dimension of a
14 small sample.

15 DR. LANGMUIR: Larry, that last point you've got there
16 behind your back, I have to look through you to see. Result
17 in decrease in fracture permeability. What kinds of temper-
18 atures are we talking about there to make that happen?

19 DR. COSTIN: Oh, actually, if you look at--well, I don't
20 have the right diagram. But, on that diagram where I showed
21 you the difference in stresses near the heater, those kinds
22 of stresses are--you only need to generate an additional
23 stress of about 5 to 10MPa in order to significantly close
24 down these fracture because the initial aperture is very

1 small. So, if you generate thermal stresses that are on the
2 order of 5 to 10MPa, you've significantly closed down those
3 fractures. An additional stress of like 5MPa, you've vir-
4 tually closed the fracture so that it doesn't show any addi-
5 tional deformation. Now this, admittedly, it not a very
6 rough--this particular case is not a very rough fracture and
7 it was exactly or is nearly exactly matched. If you have
8 some mismatch and a lot of asperities, you can get a lot more
9 compliant system, but typically if these fractures are very
10 tight, closely spaced, this is the kind of thing you're going
11 to see. They're going to have an aperture on the order of
12 25/50 microns and that's going to disappear as you apply a
13 very small load very quickly.

14 DR. DEERE: There will be a set. There's no doubt of it
15 when we're talking about the rock mass versus just the rock
16 itself because the joints themselves are not going to behave
17 completely elastically. Almost invariably there is a set.

18 DR. COSTIN: Yeah.

19 DR. DEERE: And, therefore, a permanent decrease in the
20 aperture openings.

21 DR. COSTIN: This it the neat thing is that once you
22 heat it up and you smash these things together, when it cools
23 off again in the long-time, those joints may not open up
24 again. In fact, probably will not open up nearly to the

1 degree that they were initially. That's right. You get a--

2 DR. DEERE: And, I think this is where the radial jack
3 which test a long zone to literally thousands of tons and
4 then you have access in your boreholes to do any kind of
5 testing that you want.

6 DR. COSTIN: You can do changes in permeability of
7 joints into the rock mass.

8 DR. DEERE: At different depths and it has possi-
9 bilities.

10 DR. COSTIN: Let me go to two more quick summaries and
11 that is that's not to say that there aren't some problems
12 that become more significant as you increase the thermal
13 load. And, I've tried to list some of those. The primary
14 one, of course, is that the higher thermal loads, higher
15 stresses add some uncertainty and complexity to the design
16 process and the fact that you need to do more testing, more
17 confirmation, that you can demonstrate that you know what
18 you're doing.

19 Finally, one of the questions was how do we see
20 resolving these problems? We try to demonstrate that we can
21 incorporate the thermal load in what we're doing and we can
22 get a handle on it. The design methodology or the philosophy
23 of doing a design is essentially independent of what the
24 thermal load is. So, any time you can say, well, let's go

1 through the same process at a lower or higher thermal load,
2 the process that's been laid out for doing the design is
3 essentially independent of that. What you have to add in is
4 this part (indicating.) If you look at the magnitude of the
5 stresses and the orientation of the stresses, certainly those
6 magnitudes and orientations are well within known practice.
7 I mean, there have been excavations constructed with those
8 kinds of stresses. The thing that's unique is in those cases
9 they don't change with time and they don't change orienta-
10 tions with time.

11 The joint slip and fracture propagation, at least
12 from the preliminary calculations we have done, are not
13 expected to extend beyond the near drift field which is one
14 of the goals that we've looked at in order to prevent creat-
15 ing preferential pathways. None of the cases, even up to
16 80kW, that we've looked at is this the case. We don't antic-
17 ipate creating long fracture networks from drifts because of
18 the high thermal loads.

19 And, I'll leave it at that and answer any addi-
20 tional questions.

21 DR. DEERE: Well, just a comment. It would sort of seem
22 to me there's just about a net--it doesn't make much dif-
23 ference one way or the other.

24 DR. COSTIN: Well, I would wait until you see the next

1 few presentations before you make up your mind on that.

2 DR. DEERE: On the basis of what you've said.

3 DR. COSTIN: Right. But, there are some implications,
4 as I think you'll see from Tom Blejwas' talk about the degree
5 of testing that you have to do at the higher thermal loads in
6 order to validate the models. There's certainly--from a
7 technical point of view, it doesn't matter. You can handle
8 high thermal loads. You can equally handle no thermal loads.
9 That's not a problem. The problem is how much more addi-
10 tional work you need to do to handle the higher loads.

11 DR. DEERE: I think that's correct, yes.

12 DR. NORTH: We have a question from Russ McFarland.

13 MR. MCFARLAND: Yes. Larry, you make no distinction in
14 the presentation between preclosure and post-closure. Would
15 you comment on that?

16 DR. COSTIN: Okay. I tried to in one of the first
17 slides to make a slight distinction in that really the impact
18 of this rotation of the stress field is primarily on the
19 preclosure when you're trying to keep drifts stable, open,
20 usable for a 100 year lifetime. And, during that 100 year
21 lifetime, as you saw from Eric's--those panel access drifts,
22 et cetera--are going to be heated, not nearly to the degree
23 that you may have thought previously, but they are going to
24 be heated, they do need to remain open, stable, usable for

1 retrievability. However, the post-closure issue again is
2 dealing with are you creating preferential pathways? Are you
3 satisfying the SCP goals not to do that? To contain the
4 damage that's done around these drifts in the preclosure
5 period before--or even after they're backfilled and closed--
6 that you're not going to end up creating large fracture net-
7 works or preferential pathways or pathways of enhanced perme-
8 ability.

9 MR. MCFARLAND: Thank you.

10 DR. DOMENICO: Larry, I see some things that you
11 referred to as 80kW/acre. I saw that on one of your slides.
12 I think the design is 57, but nobody really knows how much
13 available space is down there and it may come in at higher
14 than 57. Did I hear you say correctly that you think that
15 200°C might be an upper limit that you can take without
16 perhaps destroying the integrity or hindering the integrity
17 of the rock?

18 DR. COSTIN: Well, you can't simply name a temperature.
19 I mean, you can take 200° in a very small volume and it's no
20 problem. If you get 200° or 250° in a very large volume,
21 then it becomes a problem. The 200 or 250° limit, you don't
22 get those kinds of temperatures; even in the 80kW case, you
23 don't get those kinds of temperatures over a very large
24 volume. You do get them in the near-borehole region, but

1 again one of the design goals was to limit the near-field and
2 the near-borehole field to 250 or 275, I forget which. But,
3 to keep that into a region where--the primary reason for that
4 goal was borehole stability so that you could retrieve the
5 canisters. If you maintained that, then the temperatures
6 away from there are not going to see that kind of temperature
7 over a very large volume.

8 DR. NORTH: Question from Ed Cording.

9 DR. CORDING: Yes. In going through these analyses and
10 you can come up with very high stresses around the opening in
11 some cases and it seems that we certainly need to think about
12 what that really means in terms of behavior. And, I know
13 that some of the tests that you did in G-Tunnel gave you some
14 feeling for that, not as much as you'd like. And, there's
15 other information on high stress environments not due to
16 heating that show that you certainly can handle and build
17 openings in which the stresses at the boundary, calculated at
18 least, exceed the strength of the material. It's not so much
19 you resist those stresses, but you go in and provide the sup-
20 port that just holds whatever you have up there in place or
21 you allow some falls if that's, you know, a situation that
22 you can accept. And, so I think that's one of the things of
23 these high stresses at the boundary that I think is something
24 that you probably have been concluding from the work you've

1 done. But, a lot of it is trying to understand just what the
2 behavior will be, given these analyses, because our analyses
3 don't do a very good job of telling us this is how the rock
4 is really going to look.

5 DR. COSTIN: That's why you need the--or why it's really
6 essential to have the--if you're going to go to those kinds
7 of thermal loadings, why it's essential to have those full
8 scale field tests in order to validate your thinking.

9 DR. CORDING: And, to some extent that it's--to me, it
10 doesn't seem to--in terms of stability, it doesn't relate to
11 a site suitability question. It's a matter of just how you
12 fine tune your design to take care of this.

13 DR. COSTIN: That's right.

14 DR. CORDING: One other point I was thinking about is
15 you're talking about the closure of fractures and reduction
16 of permeability and it would seem to me that when you're in
17 an unconfined condition right at the boundary of the opening,
18 in that fractured zone at the boundary, that heating will not
19 even close fractures, it will tend to buckle and open frac-
20 tures.

21 DR. COSTIN: Open. This is--

22 DR. CORDING: So, what you were describing was really a
23 confined condition back in the mass.

24 DR. COSTIN: Back in the rock mass, right, in those big

1 pillars in the--that those will tend to be tighter. You will
2 get a zone of enhanced permeability around drifts. There's
3 no question about that. But, it's very limited from our
4 calculations.

5 DR. CORDING: Yeah. If I could ask you just one more on
6 the drying effects, the effects of heating above 100°.
7 You're focusing properly on the rock, the TSw2 rock at the
8 repository level and I'm sure you've done tests on some of
9 the nonwelded tuffs. Their behavior--the high water content
10 material's behavior is much more dramatic when you dry above
11 100°. Isn't that your observation?

12 DR. COSTIN: Much more dramatic in one sense.

13 DR. CORDING: Much more dramatic in terms of changes in,
14 for example, stiffness of a material or changes in strength.
15 When you're taking out, say, material that has 20% water
16 content as opposed to--

17 DR. COSTIN: The strength essentially varies or is a
18 very couple function of the void volume. So, the higher void
19 volume rock, the less welded tuffs have a much lower strength
20 to begin with. And, I'm not real sure I can recall what the
21 effect of drying in those tuffs, in the nonwelded tuffs, is.
22 But, I don't think it's much more significant than what I
23 showed here.

24 DR. CORDING: I recall some tests we ran where I think

1 we dried it out just--just, you know, put it in an oven
2 overnight or something. Dried it out and the strength was
3 twice as stiff as it was when it was--

4 DR. COSTIN: That could be.

5 DR. CORDING: That's not necessarily--

6 DR. COSTIN: That may be a fact of an effective stress
7 problem. If you have a very porous rock mass that's fully
8 saturated and you test it, it's going to be weaker than what
9 you dried out if you don't allow it to drain.

10 DR. NORTH: I think at this point we want to move on.

11 Oh, Ellis?

12 DR. VERINK: I just have a very brief question. Since
13 the temperature limit was associated with the stability,
14 borehole stability, if there were a shift towards a drift
15 emplacement, what influence would this--

16 DR. CANTLON: I would think with a drift emplacement,
17 you could probably go to even higher canister loading because
18 then you'd have the ability to ventilate it. You'd have the
19 ability to--the coupling between the thermal load and the
20 canister and the rock would be far less. You have to radiate
21 this heat out. You would automatically spread it out over a
22 much larger area to begin with and not deposit it in such a
23 local area so you could go to significantly higher canister
24 loadings.

1 DR. VERINK: Some advantage to that then?

2 DR. COSTIN: There would be some advantage to doing
3 that.

4 DR. DEERE: A followup question. If you were going to
5 make a drift emplacement, wouldn't you consider that a cir-
6 cular opening made by tunnel boring machine would probably
7 enhance stability even farther? He shook his head yes.

8 (Laughter.)

9 DR. COSTIN: I think no matter how you emplace it, a
10 circular hole would enhance stability.

11 DR. DEERE: Thank you.

12 (Laughter.)

13 MR. CLONINGER: Don, if there are no further questions
14 from the Board, I'd like to introduce Thomas Buscheck,
15 Lawrence Livermore National Laboratory, who will be dis-
16 cussing hydrogeologic uncertainties.

17 DR. BUSCHECK: Hi, I'm Tom Buscheck and I'd also like to
18 point out that a lot of this work is also based on the work
19 of my colleague, John Nitao who developed and enhanced the V-
20 TOUGH Code which was based on the TOUGH Code that was
21 developed by Karsten Preuss at LBL. This is my structure of
22 my talk. Where is that pointer? Do we have it? Okay. The
23 structure of my talk is that I'm going to first give a brief
24 overview of the Yucca Mountain hydrology, particularly those

1 features of Yucca Mountain which are most critical to the
2 repository performance. We're going to briefly describe
3 hydrothermal flow phenomena that occurs at a variety of
4 thermal loads at the repository horizon and then talk about
5 the impact of that flow on the temperature profiles as a
6 function of thermal load and then talk about the impact of
7 the hydrothermal flow on temperature distribution; namely,
8 the differences between a conduction only model and a model
9 which accounts for hydrothermal flow effects. We're going to
10 then talk about the impact of thermal load on the repository
11 performance on the waste package environment and on the
12 environment which may or may not lead to the transport of
13 radionuclides to the water table. We're also then going to
14 talk about the impact of thermal load on the significance of
15 the various hydrologic uncertainties we've identified. I'd
16 like to point out that a number of my slides that I may show
17 as backup will appear in the appendix and don't necessarily
18 appear in the order of the slides in the packages.

19 First of all, the most obvious important perfor-
20 mance considerations depend on hydrology. You have to bring
21 water to the waste packages to degrade them and also to
22 dissolve the waste form. And, you also need to have liquid
23 water to transport the radionuclides down to the water table.

24 An overview of the Yucca Mountain hydrology, this

1 is a simplified conceptualization of the key features of the
2 Yucca Mountain unsaturated zone at the repository block. The
3 key consideration, we feel, is the impact of thermal load and
4 fracture-dominated flow. At the last Review Board meeting, I
5 talked at length about fracture-dominated flow and its impact
6 on transport. First of all, I think most of us agree that if
7 the entire mountain had matrix-dominated flow, we will not
8 see a significant vertical displacement of radionuclides.
9 So, therefore, we feel that if there is no fracture-dominated
10 flow in the mountain, there are no hydrologic performance
11 problems. However, there is field evidence that indicates
12 that fracture-dominated flow can occur to considerable depth.
13 And, moreover, as I just stated, fracture-dominated flow is
14 the only credible mechanism to bring water to the waste
15 packages and transport radionuclides to the water table.

16 I'm going to spend a lot of time today talking
17 about boiling behavior, and then after boiling ceases, how
18 persisting dry-out of the rock mass will greatly enhance the
19 ability of the matrix to attenuate fracture flow. And,
20 these effects, I believe, have a significant impact on the
21 hydrologic uncertainties.

22 Basically, Yucca Mountain is comprised of two
23 relatively distinct groups of matrix properties. If we just
24 for the time being assume that there's no differences in

1 fracture properties, that somehow there are preferential
2 fracture pathways through the mountain, let's just talk about
3 the impact that the matrix properties have on a flow down of
4 preferential fracture pathway. We have the welded units
5 which have a W behind them which comprise about 85% probably
6 of the repository block. The Tiva Canyon, the Topopah
7 Springs unit, the lower Topopah Springs unit which is the
8 vitrophyre, these units have very low matrix permeability, as
9 does the zeolitized nonwelded Calico Hills. They all have
10 about the same very low matrix permeability which results in
11 minimizing the impact on imbibition on retarding fracture
12 flow. Therefore, in these units, the likelihood of fracture-
13 dominated flow, given the presence of fractures and an ade-
14 quate source of water, is significant.

15 Now, in the nonwelded vitric units, there is a much
16 higher matrix permeability there and because of that imbibi-
17 tion is much stronger. It's much more likely to dominate
18 fracture-dominated flow and will probably result in very
19 large lateral flow which may preclude most fracture dominated
20 flow from even getting to the repository horizon. The vit-
21 ric--

22 DR. DEERE: A question?

23 DR. BUSCHECK: Yes?

24 DR. DEERE: Tom, I recall this similar diagram you

1 showed before and I was a little confused by your high perme-
2 ability and low permeability.

3 DR. BUSCHECK: I'm talking high permeability with
4 respect to the matrix. I'm assuming--

5 DR. DEERE: I think that's the key, yes.

6 DR. BUSCHECK: If you were looking at the bulk perme-
7 ability, the bulk permeability is dominated even in the high
8 matrix permeability units by the fracture permeability.

9 DR. DEERE: Right.

10 DR. BUSCHECK: And, right now, I'm assuming that all
11 things are equal. We're not considering differential frac-
12 ture properties and we're focusing on the matrix perme-
13 ability. I think the most important unit in the Calico
14 Hills--and, actually, this unit could be much thicker than
15 I've depicted this. Dave Bish has given me an update on
16 this. This can actually be 100 meters thick or more rather
17 than the 5 meters I'm showing here. But, it does not extend
18 over the entire main repository block. This unit is, I
19 think, one of the primary barriers of physical retardation
20 below the repository.

21 Quickly, some of the evidence which indicates
22 fracture-dominated flow can get to some depth. It comes
23 about by looking at the saturation distribution. Now, we're
24 looking again at the same cross-section. We're using the

1 same Klavetter and Peters data that I based all my subsequent
2 calculations on and it is just--it's a representative cross-
3 section, but it does not rigorously pertain to the entire
4 mountain, but it's good for a starting point.

5 Going from the ground surface to the water table,
6 we have imposed several different effective recharge fluxes.
7 The general nominal flux which seems to--and then, what I've
8 also shown is the mean value of saturation in the RIB and one
9 standard deviation away from that mean value. A number of
10 analyses have indicated that the best correspondence with
11 most of the RIB data is obtained at a zero-effective moisture
12 flux through the mountain. And, as we can see in the low
13 matrix permeability units, we have pretty good agreement
14 between zero flux and the existing data. However, there's a
15 significant problem; that being in the high matrix perme-
16 ability nonwelded vitric Paintbrush tuff, this unit here
17 (indicating), and the nonwelded vitric Calico Hills, the
18 existing data is substantially wetter than what you would
19 predict with a steady-state matrix-dominated flow model. So,
20 therefore, we feel the adequate explanation is there is some
21 occasional episodic flow to depth which is recharging these
22 units, but due to the low matrix permeability in these units,
23 does not have adequate time to be reflected in the saturation
24 profile in those units.

1 DR. DOMENICO: Tom, what's real and what's predicted
2 there?

3 DR. BUSCHECK: Pardon me?

4 DR. DOMENICO: What's real and what's predicted?

5 DR. BUSCHECK: What's predicted are these three blue
6 lines. What's the existing real data is, as I said, this is
7 the main (indicating) and that's the standard deviation. So,
8 in the low permeability units, it appears the effect is as
9 though there's a zero moisture flux to the low permeability
10 units. That's what the data indicates. In the high perme-
11 ability units, it's as though there is some significant
12 positive flux which has minimal impact on the low perme-
13 ability units.

14 DR. WILLIAMS: Tom, could you describe the data that
15 you're referring to?

16 DR. BUSCHECK: The date? The Klavetter and Peters data?
17 That data--

18 DR. WILLIAMS: The data about which the standard devia-
19 tion is calculated?

20 DR. BUSCHECK: You know, that data is in the RIB. It
21 was a--I cannot vouch for, you know, whether it was contam-
22 inated by drilling fluids or whatever. It's what we have
23 currently.

24 DR. WILLIAMS: I just want to point out that there are

1 some problems with the data that may not be--it may change as
2 more data are collected.

3 DR. BUSCHECK: Correct. I don't want to unequivocally
4 say that we're going to find this wet of condition in the
5 vitric tuff. It may not be the case. But, even so, my
6 feeling is that we need to address--the analysis needs to
7 address the most problematic performance aspects of the
8 mountain, irrespective of whether we have conclusive evidence
9 whether those conditions persist today.

10 DR. WILLIAMS: Well, I'm just trying to point out you
11 should be realistic about the data that you're comparing the
12 predictions to. That's all.

13 DR. BUSCHECK: Right. But, as we'll see in a little--
14 what we have done in our subsequent calculations is that we
15 have utilized these three different saturation profiles as
16 initial conditions for our hydrothermal calculations. This
17 particular condition gives rise to the 96% repository satura-
18 tion which I feel is very unexpected. Nonetheless, we ran
19 calculations out here to see how robust high thermal loads
20 were with respect to initial saturation.

21 Basically, with respect to fracture-dominated flow,
22 there are three basic mechanisms which mitigate the impact of
23 fracture flow. The obvious one is that the fracture networks
24 are not connected vertically to the water table. Another

1 effect is that if you have a connected pathway to the water
2 table, there will be a lot of tributary fractures. So,
3 there's liquid-phase dispersion and tributary fractures which
4 will not make it to the repository horizon or to the water
5 table. The third area is fracture-matrix interaction, the
6 ability of the matrix to attenuate fracture flow. For low
7 areal power densities, we'll only have matrix imbibition
8 tending to retard fracture flow. At higher APDs, we'll get
9 boiling effects and we also find that due to the persistent
10 rock dry-out that imbibition is also enhanced for quite a
11 long period of time.

12 Slow me down if I get too fast.

13 DR. DEERE: Maybe 10% reduction.

14 DR. BUSCHECK: Okay. Anyway, now each of these sections
15 I have, I have a conclusion to the front. So, if you want to
16 review it afterwards, I put all the main points up front.

17 For hydrothermal flow, we have found that unsatur-
18 ated fracture tuff promotes rock dry-out by boiling. And,
19 I'll go over these one by one. This is just the conceptual
20 to show that whether it's borehole or drift emplacement that
21 if we have a fracture tuff rock mass that boiling is facili-
22 tated. What happens is that we found in G-Tunnel experiments
23 that boiling preferentially occurs along fractures and then
24 progresses into the matrix. And then, once the water vapor

1 reaches the fracture system, it moves radially or spherically
2 away from the heat source until it reaches condensation
3 temperatures, whereupon it condenses and it could either
4 drain back towards the boiling zone and reflux or, if it's
5 below the boiling zone, we've found it very quickly drains
6 away from the boiling zone.

7 This is not in your package, but I wanted to show
8 the impact that we have to have fractures in the unsaturated
9 zone to promote rock dry-out. What I'm showing here is at 60
10 years, we have the drift emplacement calculation which per-
11 tains also to vertical emplacement. About three to five
12 years after vertical emplacement, the boiling zones between
13 the packages coalesce and it acts as though it's a line
14 source. So, this pertains to that calculation, as well.
15 What we're showing here in red (indicating) is completely
16 dried-out and the very dark blue would be 100% saturation.
17 What we find is that there are no fractures, that the bulk
18 permeability is that of the matrix itself, 2×10^{-18} , that we
19 get a very small region of dry-out at 60 years.

20 The nominal case that I've considered to the effect
21 if we had 300 micron fractures per meter, but more impor-
22 tantly the bulk permeability is $2\text{-}1/2 \times 10^{-13}$, which is five
23 orders of magnitude more permeable than when you have no
24 fractures, we find that the--and this is the nominal boiling

1 isotherm at this altitude--we find that the dry-out zone
2 follows the boiling point isotherm very closely. So, there's
3 no throttling of dry-out by virtue of flow effects with the
4 fractured rock matrix.

5 In this example, we've increased the bulk perme-
6 ability by another 2-1/2 orders of magnitude. We have found
7 that the dry-out volume is largely unaffected, that it's
8 still following the boiling point isotherm. In fact, the
9 boiling point isotherm is more compact for reasons that I
10 can't explain right now, but basically what is happening is
11 that we have enhanced heat flow by virtue of some additional
12 natural convective effects which tends to keep the boiling
13 isotherm closer. However, if you look at the impact on dry-
14 out conditions--and what I'm plotting here in time out to
15 10,000 years is the near-field environment saturation. The
16 initial saturation is assumed to be 69% which is actually 4%
17 higher than the existing RIB data. What we find is with no
18 fractures that we get minimal dry-out and essentially the
19 rock remains at the initial saturation. Regardless of
20 whether we go to this particular scenario or increase the
21 bulk permeability by another 2-1/2 orders of magnitude, the
22 dry-out behavior is largely insensitive. So, it's being
23 controlled by the thermal properties which is the second
24 point of my summary.

1 The volume of the dry-out zone is dominated by the
2 thermal load and the thermal properties given adequate frac-
3 ture spacing.

4 DR. LANGMUIR: Tom, we don't have a left hand overhead.
5 I presume you can get that for us?

6 DR. BUSCHECK: Pardon me?

7 DR. LANGMUIR: We don't have that left--

8 DR. BUSCHECK: I can give that to you. The point that I
9 also want to make is that the existing, though it's limited,
10 bulk permeability data for the Topopah Springs tuff actually
11 pertains to this case. So, we're well above the threshold
12 for significant dry-out. This also shows that according to
13 what Larry is talking about that if we could have a very
14 substantial change in the bulk permeability and not have a
15 significant change in the dry-out. It's being dominated by
16 the thermal properties and the thermal load. We would have
17 to reduce, relative to the current characterization, probably
18 on the order of seven orders of magnitude in bulk permeabil-
19 ity before we would start to pick up a reduction in the
20 amount of dry-out.

21 The other thing that we observed in G-Tunnel was
22 that--I'd like to point out that our models have been vali-
23 dated to a reasonable extent. Our temperature predictions in
24 G-Tunnel using the same modeling approach that I'm using in

1 this talk, we got a very good agreement with the temperature
2 profiles that we observed. We also got an outstanding agree-
3 ment with the dry-out volume in time and in space. What we
4 didn't predict was using the equivalent continuum model. The
5 equivalent continuum model assumes that as soon as the flow
6 condenses, it is imbibed in the matrix and then its conden-
7 sate drainage is confined by the very tight matrix perme-
8 ability. In reality, that flow will be in the fractures out
9 of equilibrium with the matrix and will tend to shut off the
10 sides. And, that's what I'm trying to show here. That once
11 the vapor reaches the fracture system, it moves down thermal
12 gradient, through the fracture system, out to where it con-
13 denses, and drains vertically downward under gravity. And
14 then, subsequent refluxing cycles will be radially away from
15 the heat source and you can see how this water is eventually
16 shut off the side of the boiling zone. And, in G-Tunnel, we
17 saw no increase in saturation out here in what we expected to
18 be the saturation halo. We didn't see any below, as well,
19 because it's--that should be obvious; if the flow is in the
20 fractures, then it's out of equilibrium. It will quickly
21 drain from the boiling zone.

22 DR. DOMENICO: Tom, hold it. Wouldn't that be--that's
23 black magic, man. Wouldn't that be a function of the orien-
24 tation, the geometry of the fractures? I mean, if you're

1 sending this vapor up these fractures and your refluxing
2 comes down and goes back up and condenses, it seems to me
3 that unless you have a very specific geometry, eventually
4 when things cool off, all you've done is remove moisture from
5 the matrix in the vicinity of the repository, put it up into
6 the fractures, and it's available to percolate down through
7 the repository one more time.

8 DR. BUSCHECK: Well, the fracture networks are indeed
9 very tortuous and, you know, chaotic. In some cases, there
10 may be perched conditions if there is no ability for a packet
11 of water to shut off. But, our finding--you know, this is
12 one of the reasons why we need to go underground and do
13 substantial testing. This thing--

14 DR. DOMENICO: Yes, but this is a small scale experiment
15 compared to heating on a repository scale, agreed?

16 DR. BUSCHECK: It is a small scale experiment.

17 DR. DOMENICO: I mean, this is a very small scale exper-
18 iment.

19 DR. BUSCHECK: But, it was conducted--the heating period
20 was conducted over 128 days. There was a long period of time
21 during which some moisture could have appeared in the matrix
22 and it did not, even above the boiling zone.

23 DR. DOMENICO: Well, what your scheme says is that you
24 drive all the water out of the matrix into the fractures and

1 then it's shed away from the repository and goes down along
2 the sides and never percolates through the repository again.

3 I think that's what you're suggesting here.

4 DR. BUSCHECK: Well, that is one--you know, that's one
5 outside interpretation of that. We'll show in the calcula-
6 tions that we've done that we have in no way accounted for
7 that favorable outcome. In fact, the equivalent continuum
8 model that we've used assumes that the condensate stays above
9 the boiling horizon. And, so we've conservatively--well, the
10 model conservatively allows the water to stay up there and is
11 continually refluxing. So, our calculations do not depend on
12 this feature and, in fact, this feature does not have to be
13 prevalent in order to get some of the favorable performance.
14 But, I'm pointing it out that that it is something that we
15 need to examine underground because I think it will--at
16 least, half the condensate will drain freely from the system.
17 I think that is not arguable. And, for a period of time,
18 there is something between zero and 100% of the condensate
19 above the boiling zone will drain, somewhere between those
20 extremes. What I'm showing here is at 30, 60, and 100 years
21 the progress of a dry-out zone. The main point here is that
22 if condensate drainage and shedding were going to occur
23 between rooms, it would occur sometime out to about 80 years,
24 whereupon the coalescence would probably preclude that from

1 occurring. However, as Eric Ryder showed, between panels,
2 there's very persistent cool spots in the repository. So,
3 there are areas for persistent shedding if, in fact, we find
4 the phenomena to be of significance.

5 It's also interesting to note that I predict very
6 similar progress of the dry-out zone that Eric predicts and
7 I'll get into that a little bit later. Now, regarding the
8 conservative aspects of our model, this is a reference
9 57kW/acre calculation. What we're plotting is from the
10 ground surface down to the water table the dimensionless dry-
11 out. Red pertains to like 0% saturation essentially; up to
12 the very dark blue is 100%. White pertains to no saturation
13 change. So, by dimensionless saturation, I mean change about
14 initial saturation. So, out here in the far field (indi-
15 cating), there is no change in the far-field saturations. We
16 find at 1,000 years that about 100 meters of the rock above
17 and below the repository horizon is dry with the exception
18 being out at the very edge of the repository. This model,
19 unlike Eric's model, has homogenized the impact of the waste
20 package heating into a three kilometer diameter disk which
21 has the same area as the Reference SCP/CD design. And, so
22 we've smeared out the thermal load into this disk. We've
23 used access symmetry in this model to do a lot of these
24 subsequent calculations. And, also you were asking about

1 perching yesterday. That by virtue of this conservative
2 aspect of the model, this is plotting from zero to 100% the
3 liquid saturation profile. This is not in the package. The
4 blue curve is the initial curve; the red curve is at 1,000
5 years. You can see the 100 meters, 50 above and below the
6 repository, is largely dry. The condensate which is above
7 the boiling zone has not drained from the system and is being
8 accounted for as we subsequently dry out the system. What we
9 find is that for this scenario, boiling conditions ceased
10 after 1800 years, but at 5,000 years, much of the repository
11 remains near zero saturation. So, the time for rewetting the
12 environment is much longer than the time it takes to cool
13 down below boiling conditions.

14 We also found that using drift emplacement
15 scenarios and varying spacing between drifts, the volume of
16 the dry-out zone can be enhanced by alternative configura-
17 tions. And, as I've stated, the numerical models used in
18 this study are very conservative with respect to the predic-
19 tions of the dry-out volume.

20 Now, we're moving to the next section where we
21 discuss the impact of APD on the temperature profile. First
22 of all, now we're again using the same profile going from the
23 ground surface down to the water table and now we're plotting
24 temperature from zero to 180°. What we find is that the

1 temperature profile and the region of the boiling front is
2 very much flattened at around 96° which is the nominal boil-
3 ing temperature at that horizon. And, as you can see here
4 (indicating), that pertains to this zone right here where
5 we're getting a lot of refluxing occurring. Vertical vapor
6 flow upward and downward imbibition of liquid flow back to
7 the boiling front. The net dry-out rate is the net effect of
8 vaporization minus return flow by imbibition. This model is
9 also conservative because we use the drying curves that were
10 obtained under drying conditions to represent wetting be-
11 havior. We've run experiments where we've shown that it
12 over-predicts the rate of rewetting by a factor of 40 for
13 welded tuffs. So, again, the net dry-out rate is not
14 reflecting the true hysteretic nature of the characteristic
15 curves.

16 Yes?

17 DR. DOMENICO: One thing on that diagram. You appar-
18 ently are getting saturation at 250 meters below, is that
19 correct, if you take a look at that?

20 DR. BUSCHECK: At this step (indicating)? We are actu-
21 ally elevating the saturation.

22 DR. DOMENICO: No, no. 250, go to 250.

23 DR. BUSCHECK: Below?

24 DR. DOMENICO: Follow your red dotted line. There you

1 are. Okay?

2 DR. BUSCHECK: Yes.

3 DR. DOMENICO: How does that happen? There's your
4 original. Your original says that you were originally 60 or
5 80% saturation.

6 DR. BUSCHECK: Correct. So, what was happening is--

7 DR. DOMENICO: So, you drove it somehow out of the
8 fractures back into the matrix?

9 DR. BUSCHECK: Well, this water is also partly in the
10 fractures above about 97%. In the equivalent continuum
11 model, there is water freely draining in the fractures. So,
12 the matrix in this region is filled and some of the water is
13 indeed draining back through the fractures.

14 DR. DOMENICO: Preheating, I see the saturation of 80%
15 which meant all the water was in the matrix. Preheating.

16 DR. BUSCHECK: Correct. Correct.

17 DR. DOMENICO: After heating somehow, we drove some more
18 water into the matrix and made it almost saturated.

19 DR. BUSCHECK: This volume here (indicating), half of
20 that volume has been draining to the water table. Half of
21 that volume is also occurring up here (indicating).

22 DR. DOMENICO: And, it's actually being sucked into the
23 matrix?

24 DR. BUSCHECK: It has been, yes, for--

1 DR. DOMENICO: Out of the fractures into the matrix?

2 DR. BUSCHECK: Yes, but because the saturation is being
3 driven above the critical saturation the equivalent continuum
4 model predicts for fracture flow, this water is draining back
5 to the boiling front in fractures.

6 Okay. Another thing to observe here is that we're
7 showing profiles at 100, 300, 1,000, and 5,000 years. It
8 takes about 300 years before any thermal disturbance reaches
9 the ground surface. We can see that at 1,000 years we still
10 get persisting boiling conditions occurring out here about 50
11 meters above and down here in the base of the Topopah Springs
12 unit.

13 With respect to thermal loading, we find that for a
14 given fuel age that the temperature rise is proportional to
15 the areal power density and this is again for average condi-
16 tions at the repository. And, what I've plotted here is the
17 nominal boiling temperature at the repository horizon. We
18 find that for 100kW/acre we get about 4200 years of boiling
19 conditions within the inner two-thirds of the repository.
20 Again, this is time from zero to 10,000 years; the tempera-
21 ture from zero to 180.

22 This is a radial profile of temperature from the
23 center of the repository out to the edge at 1500 meters at
24 various times. We find that the temperatures within roughly

1 the inner two-thirds of the repository are at roughly uniform
2 temperature and that the edge effects pertain out at the
3 outer third of the repository. We also find that calcula-
4 tions that I'll show in a moment on the drift scale model,
5 which accounts for the local thermal load distribution unlike
6 the large scale model, that we get very similar predictions
7 of temperatures as those predicted by the large scale model
8 within the inner two-thirds of the large scale model.

9 The impact of hydrothermal flow on the temperature
10 field. Yesterday, we were hearing about the impact of con-
11 vection, hydrothermal flow versus conduction. This is
12 another plot that is not in your package, but I felt it was
13 important to show. This is the temperature profile at 1,000
14 years. We can again see that boiling conditions prevail out
15 in the rock here. Now, keep this in mind when I show this
16 other plot. This is the plot. Effectively, the Nuselt
17 number which is the ratio of a heat conductive flux to the
18 total heat flux. So, a value of 1 means the heat flow is
19 completely dominated by conduction. The yellow line is that
20 one line. And, as we can see here (indicating), this is
21 where the two phase boiling effects are occurring, right
22 here. Out beyond the boiling front, we find that heat flow
23 is dominated by heat conduction because the ratio is very
24 close to 1. Within the boiling refluxing zone, we get to the

1 point where convection is dominating flow within this rela-
2 tively narrow band. Inside the boiling zone where the rock
3 is completely dried out, it is again dominated by heat con-
4 duction as it is below here (indicating). We find there's a
5 positive component of natural convection going upwards.
6 Therefore, the conductive flux is less than 100%. But, below
7 the repository horizon because natural convection is going
8 against thermal conduction which is going down, we find that
9 thermal convection is working against heat flow. So, the
10 ratio of the conductive of the total flux is greater than 1.
11 And, again, going down in the water table is largely dom-
12 inated by heat conduction.

13 This is a plot at 100 years comparing a heat con-
14 duction model which assumed TSw2 properties throughout the
15 mountain. I used the exact same properties that Eric used in
16 his model. Again, we're plotting temperature from zero to
17 180. The heat conduction model is in purple and then I've
18 shown a couple cases of the hydrothermal model at various
19 recharge fluxes. What we find is, is that in the very near-
20 field, the conduction model conservatively predicts high
21 temperatures because it doesn't account for boiling effects.
22 It also conservatively under-predicts the boiling point iso-
23 therm. So, it under-predicts the extent to which the dry-out
24 zone is extending into the rock. It also under-predicts the

1 temperatures at the top of the Calico Hills; the reason being
2 is that there's hot condensate flow in the hydrothermal model
3 which is adding to the total heat flow of the Calico Hills.
4 So, there is some under-prediction in the conduction model
5 versus the hydrothermal model at that point. But, with
6 regards to the other two points, the conduction model gives
7 conservative performance calculations.

8 So, therefore, summarizing also some of the other
9 things we have noticed, that temperatures in the vicinity of
10 the waste package decreases with increasing recharge flux.
11 The impact of hydrothermal flow increases with the initial
12 saturation which is a function of the recharge flux. Boiling
13 also results in lower temperatures in the vicinity of waste
14 packages, as we see here (indicating). The heat conduction
15 model again yields conservatively high temperatures in the
16 very near-field and conservatively low temperatures with
17 respect to the extent of the boiling zone.

18 Am I going too fast?

19 DR. DEERE: Fine.

20 DR. BUSCHECK: Okay. This is, I think, the most impor-
21 tant section, the impact on repository performance. First of
22 all, what we're plotting here again throughout the 10,000
23 years is the total dry-out volume of liquid water versus time
24 for 30 year old fuel and a nominal recharge flux. We're

1 plotting it for 20, 36, 57, 80, and 100kW/acre. One thing
2 that we've noticed is that for 20 and 30, there is no signif-
3 icant dry-out benefits, at all. And, somewhere between 36
4 and 57, there's a threshold for significant dry-out benefits
5 to pick up. If you divide this volume by the area of the
6 repository, you find, first of all, that the peak dry-out
7 volume peaks around 800 years. Therefore, the net condensa-
8 tion rate which is the first derivative of this curve is
9 positive out to about 800 years. Without the 800 years, this
10 volume of water pertains to 8 meters of water for this case,
11 15 meters of water for this case, and 22 for this (indi-
12 cating.) So, therefore, if you were to average the net
13 condensation rate over time, that pertains to an average flux
14 of 1 centimeter per year, 2 centimeters per year, and 3
15 centimeters per year which is much, much higher than any
16 effective moisture recharge flux currently considered for the
17 Yucca Mountain horizon. So, therefore, the hydrothermal
18 flow, the net condensate flow, grossly dominates the natural
19 system in terms of the natural flux through the mountain.

20 The other thing to consider is the fact that this
21 is net condensate flux, that we have a lot of recirculation
22 occurring. So, the actual condensate flux is going to be
23 much higher than the net flux. So, if you consider the
24 impact of episodic pulses due to rainfall or snow melt, my

1 feeling is that it has a relatively small impact on the
2 overall amount of water that the boiling zone has to accom-
3 modate to remain dry.

4 We can also derive some increased dry-out benefits
5 by using the same initial APD of 57kW/acre, but by using 60
6 year old fuel and packing it closer together. In this case,
7 we've almost doubled the dry-out benefits with minimal impact
8 of the waste package temperatures which I could show in a
9 minute if there's interest.

10 For a high areal power density of 1,000 years--
11 okay, going back to this other plot, you can also calculate
12 an equivalent volume or height of dried out rock. For this
13 case, it pertains to 100 meters of dried out rock, for this
14 case, it pertains to about 200 meters, and for this case it
15 pertains to about 300 meters of dried out rock (indicating)
16 at the maximum time or maximum dry-out. But, you can see
17 that the rewetting of the rock occurs very, very slowly. So,
18 that dry-out volume will persist for a long period of time.

19 I'm showing you an example of a high APD. At 1,000
20 years as we get about 250 meters, which at maximum time it
21 extends to 300 meters, you can see the repository horizon
22 here (indicating). The edge of the repository is dried out
23 to almost zero saturation. Again, the condensate zone, we're
24 seeing on a large scale some of the shedding, but it's very

1 much retarded by the low matrix permeability. And, this
2 condensate has been continuously shedding down to the water
3 table for some time.

4 Now, for this example (indicating), the boiling
5 stopped after 4200 years; yet, at 5,000 years, we have still
6 a substantial volume of dried out rock. What I'm plotting
7 again here is liquid saturation from zero to 100%. Again,
8 the blue curve is the initial saturation; red is net dry-out
9 at 5,000 years; blue is net rewetting. So, you can see that
10 this calculation is still accommodating for a large thermally
11 perched region of wetted rock.

12 DR. DOMENICO: I've got to ask something about that
13 again. This is a continuum model, correct?

14 DR. BUSCHECK: Correct, and I'll explain why it's rela-
15 tively reasonable.

16 DR. DOMENICO: Okay. So, that is why you're getting
17 that saturation above. If you had a fracture model, the
18 water you're driving up would not necessarily go into the
19 matrix--

20 DR. BUSCHECK: I think much of it would have shed
21 through the repository, through the cold spots.

22 DR. DOMENICO: Yes, but still that high saturation there
23 above is an artifact of the model?

24 DR. BUSCHECK: Correct, and it's--

1 DR. DOMENICO: Right, it's totally an artifact of a
2 continuum model.

3 DR. BUSCHECK: It is and, as I stated, it's a conserva-
4 tive artifact. It's conservatively retarding the net dry-out
5 and it's also conservatively over-predicting the rewetting of
6 the repository horizon.

7 DR. DOMENICO: Well, I thought if it would say in the
8 fractures instead of doing that once it dries out, then it
9 would start to rain on the repository.

10 DR. BUSCHECK: No, it doesn't stay in the fractures.
11 That was one of the many points, probably too many points, of
12 June's talk is that flow in the fracture is imbibed in the
13 matrix within a day and so it will not--unless the saturation
14 in the matrix is near 100%, it will not--

15 DR. DOMENICO: It then will be rejecting it and it will
16 be staying in the fractures. Somebody ought to calculate
17 just what sort of volume of water you're going to move.

18 DR. BUSCHECK: We have calculated it. I was mentioning
19 that.

20 DR. DOMENICO: Okay.

21 DR. BUSCHECK: And, the fact that John Nitao is busily,
22 as I've talked, working on a new equivalent continuum model
23 which accounts for nonequilibrium fracture matrix and I think
24 we're going to have a very novel new scheme in the near

1 future.

2 DR. DEERE: So, we shouldn't take notes on this one.

3 (Laughter.)

4 DR. BUSCHECK: No, you--well, the picture is going to
5 become--we're going to find that the picture--the dry-out
6 predictions are going to be much--again, I'm saying that when
7 we account for those effects, we're going to probably find
8 that the dry-out volume extends further and lasts longer in
9 time.

10 Another point that I had made earlier when Max last
11 heard my talk was that the Calico Hills, much of the Calico
12 Hills, is well below initial saturation. This is going to
13 impact transport through the Calico Hills. We've had boiling
14 conditions along in the Calico Hills. So, if you're going to
15 arbitrarily apply temperature limits in the Calico Hills, you
16 may not be able to take advantage of this favorable--what I
17 consider to be favorable flow performance. Drying out the
18 Calico Hills will do a couple things. Even after boiling
19 stops, it will continue to attenuate fracture flow because of
20 increased matrix imbibition. Also, the more likely scenario
21 where you have disconnected fracture networks what you have
22 to do in order to get matrix or fracture flows to bridge
23 through the matrix, you have to reach 100% saturation in the
24 matrix to bridge between two discontinuous fractures. If

1 you've driven the water down to near zero saturation, that's
2 much less likely to occur. So, we've mitigated the impact of
3 slightly discontinuous fractures from transporting radio-
4 nuclides through the water table by virtue of that effect.

5 Another thing is again because we're grossly over-
6 predicting the rewetting behavior, we're having water in the
7 saturated zone as being pumped up by imbibition back to the
8 dry-out zone. When we get hysteretic data--and, in fact,
9 Alan Flint has some for the nonwelded tuffs which I intend to
10 use in the very near future to implement in the model--we'll
11 probably find this net dry-out will extend much further into
12 the Calico Hills.

13 As far as the waste package environment, I think
14 it's very worthwhile to point out that dry steam boiling
15 conditions are going to persist for high APDs for thousands
16 of years. Again, for the 100kW/acre and the inner two-thirds
17 of the repository, dry steam boiling conditions persist for
18 4200 years, and for 80 they're persisting for about 3,000
19 years, and for 57 about 1800 years. For the low APDs, we get
20 no persisting dry steam conditions.

21 You can also nearly double the length of these dry
22 steam conditions by simply going from 30 to 60 year old fuel
23 using the same initial APD and you almost double the duration
24 of the dry-out period. And, that doubling of the dry out is

1 obtained at very minimal impact on the waste package tempera-
2 ture. This is in your appendix. What I'm plotting here now
3 is instead of the near-field rock temperature, I'm plotting
4 the waste package temperature for drift emplacement. Here's
5 for the 30 year old (indicating). It peaks at about 135°.
6 This is the waste package temperature. For 60 year old fuel,
7 it's peaking at around 150°. So, calculations that Marty
8 Altenhofen and others have done at PNL for 10 year old fuel,
9 57kW/acre, which puts a lot less energy into the system,
10 predict the package temperature around 300°. There is a big
11 difference between borehole emplacement and drift emplacement
12 with respect to package temperatures.

13 Okay. I'm sort of missing these bullets here. So,
14 basically, what I've said here is the substantial boiling and
15 dry-out benefits can occur for high APDs. The dry steam
16 boiling conditions will persist for thousands of years. Rock
17 dry-out benefits will continue to persist for even tens of
18 thousands of years after boiling has stopped. And, for drift
19 emplacement, we get substantial dry-out benefits with less
20 impact than waste package temperatures. And, this point, I'm
21 going to save for the uncertainty section.

22 Then, the next point is the impact of the ground
23 surface. For 100kW/acre, we actually saw that the surface
24 heat flux never actually exceeded 1.1kW/m^2 . And, a heat

1 transfer coefficient of the ground surface of 1W/m per °C, I
2 think is very conservative. So, therefore, the rise in
3 temperature would be approximately 1°C with that type of flux
4 arriving at the ground surface.

5 Okay. I really appreciated the comment that Nils
6 Rydell from Sweden made yesterday about credibility of per-
7 formance modeling. And, basically, I believe what he said
8 was relying on basic thermodynamic principles is probably a
9 more credible means of demonstrating, you know, the reason-
10 ableness of our calculations than simply looking at the
11 inherent properties of the natural barrier system. And, this
12 is what I'm trying to show here. As I stated several times,
13 fracture-dominated flow and low matrix permeability tuffs may
14 promote, if sufficient water is present, fracture-dominated
15 flow to substantial depth. And, the reason why that occurs
16 is that the capillary or the wetting diffusivity of the rock
17 matrix is so small. What we find, for instance, during a two
18 day episodic pulse in a fracture, we can get on the order of
19 100 meters of penetration, get only 1-1/2 centimeters of
20 penetration into the rock mass. Therefore, the volume of the
21 matrix attenuating fracture flow is limited to within a
22 couple centimeters of the matrix. So, this is how much of
23 the matrix is available to attenuate fracture flow. If this
24 fracture pulse is entering a boiling environment, you still

1 have the benefits of this imbibition, but now what you have
2 is you have evaporative cooling here. As this pulse evapor-
3 ates, that will disturb the temperature field here (indi-
4 cating). And, to disturb the volume of matrix of the rock
5 that is disturbed is now proportional to the square root of a
6 thermal diffusivity. And, a thermal diffusivity for the host
7 rock is nearly three orders of magnitude higher than the
8 capillary or wetting diffusivity of the matrix. Therefore,
9 we have a much greater volume of rock matrix available to
10 attenuate fracture flow. This is one of the reasons why I
11 think the equivalent continuum model is more reasonable under
12 high thermal loads than it is under low because this partic-
13 ular phenomena averages out the impact of this refluxing
14 phenomena over a much greater rock mass.

15 Another point to be made is that the thermal prop-
16 erties fall within a very narrow band, maybe a factor of 2,
17 over the tuffs. And, they also due to thermal effects and
18 even mechanical effects are not likely to change by very much
19 by virtue of thermal effects. So, therefore, this perfor-
20 mance is not subject to much spatial or temporal variability.
21 Whereas in this case, this can change substantially if geo-
22 chemical effects cause a permeability skin along the frac-
23 ture. That could mitigate the ability of the matrix to
24 attenuate flow and there can be very substantial changes in

1 the performance of this fracture-dominated flow event in a
2 below boiling environment situation. So, therefore, the
3 basic variability of this system versus this system (indi-
4 cating), this system under initial conditions and changed
5 conditions is much less likely to be affected by uncertainty
6 and is also not so great--not at all dependent on just the
7 basic uncertainty of the hydrologic properties. It's depen-
8 dent on the thermal properties.

9 DR. LANGMUIR: Tom?

10 DR. BUSCHECK: Yes?

11 DR. LANGMUIR: Your refluxtion, though, is going to
12 bring fluids back down into the system with evaporation and
13 salinity increases and there will be all kinds of changes
14 occurring--

15 DR. BUSCHECK: Yes, there are--we have some--you know,
16 I'm not saying--

17 DR. LANGMUIR: Even in that steam system, you'll have
18 changes.

19 DR. BUSCHECK: Yes. In the steam system, we do indeed,
20 I think, have some homework to do in terms of experiments, in
21 situ experiments, lab experiments, and in geochemical model-
22 ing. But, as I had shown earlier, that the threshold matrix
23 bulk permeability--not matrix. The threshold bulk perme-
24 ability of the fracture rock mass appears to be many orders

1 of magnitude greater than that which would begin to throttle
2 the effective rate of dry-out. So, you can have a substan-
3 tial variation about what we may find in situ in terms of
4 fracture healing and still obtain substantial dry-out bene-
5 fits. But, we definitely need to address that.

6 Okay. Impact thermal load on hydrologic uncer-
7 tainties. I guess to go through these, again as I had
8 stated, even high APDs result in the minimal temperature
9 disturbance at the ground surface and boiling conditions in
10 rock dry-out effects greatly enhance the ability of the
11 matrix to attenuate fracture flow.

12 Okay. Now, we're going to talk about the uncer-
13 tainties. We feel that--and, this is an example of 20kW/
14 acre, 30 year old fuel. It's very hard to pick up, but there
15 is indeed a discernible amount of condensate flow which at
16 1,000 years has made it to the water table. There is an
17 impact. There is some finite amount of boiling occurring.
18 There's a finite amount of condensate drainage. You would
19 have to go substantially less than 20kW/acre, I feel. Also,
20 you would have to probably break up and use less than three
21 intact assemblies per package or age the fuel or do a variety
22 of things to try to completely obviate this particular
23 effect. But, within the range of calculations, we found that
24 these effects, you know--that the alteration of flow and

1 transport properties could be significant and must be still
2 considered even under very low thermal loads, loads at which
3 we derive no net dry-out benefits.

4 This has been a question, a typical question,
5 regarding far-field disturbance and that is what is the
6 impact on the Calico Hills temperature? This particular
7 calculation (indicating), the Calico Hills is only 60 meters
8 from the repository. So, it's rather conservative. In many
9 places, it's further away, but what we find again is that the
10 temperature rises linear and APD, but we also find that for
11 portions of the rock that some of the rock, even under 20kW/
12 acre, is going to remain above 40°C for between 2,000 and
13 3,000 years. Dave Bish will comment on that, but you cannot
14 dismiss the possibility that that temperature may impact the
15 properties of that unit. So, it's hard to get away from
16 those considerations.

17 However, we feel that if we can keep a boiling
18 repository environment and one that remains dry for many tens
19 of thousands of years thereafter, that the impact of the
20 temperature effects on the Calico Hills is possibly much less
21 important than it would be under low APDs where you get no
22 attenuation of fracture flow by virtue of heating effects.

23 Here (indicating), I've done a lot of calculations
24 regarding the sensitivity of the persistence of the dry-out

1 zone to a very wide range of hydrologic conditions and I'm
2 not going to present many examples. I'm going to present one
3 example where we considered what I considered to be almost an
4 absurdly upward bound case on saturation distribution. What
5 did I do with that plot? Anyway, well, if you can just
6 recall that I had a plot of the saturation distribution at
7 Yucca Mountain and at this point, 132mm/year, that we had a
8 96% repository saturation which is very darn close to
9 flooded. Oh, here it is. And, I consider this example at
10 96% initial repository saturation to be way out just to show
11 the sensitivity, though, of the persistence of dry-out.

12 Something that I didn't point out that I wanted to
13 is that a zero moisture flux through the repository horizon
14 doesn't mean a zero liquid flux. Ivan Tsang made this obser-
15 vation, and we have since we've done these calculations, that
16 due to the natural geothermal gradient, you've got vertical
17 buoyancy-driven flow of vapor and then downward flow of
18 liquid water where you've got a steady state dynamic system.
19 The downward flow of liquid water at zero moisture flux was
20 .04mm/year. If you use the Richards' equation model, you
21 would predict that a .045mm/year liquid flux would give you a
22 repository saturation of 85%, not 69. So, it's important to
23 consider two phase effects. And, Pat, we are considering two
24 phase effects even when we don't have a high thermal load and

1 they are very significant.

2 DR. LANGMUIR: Tom, another phase. How about Carbon-14
3 CO₂ release in all of this?

4 MR. BUSCHECK: Yes, I feel--well, as far as some hypo-
5 thetical travel time, under the natural geothermal gradient
6 it's about 100 years. So, if you add a thermal load, to me,
7 the critical issue is not trying to minimize the hypothetical
8 travel time. The critical issue is maintaining a favorable
9 waste package environment in which the release of C-14 is
10 minimized. So, therefore, I feel under the higher thermal
11 loads we are much less likely to degrade the waste packages
12 and release C-14. But, even though the hypothetical travel
13 time is shorter, the overall transport to the ground surface
14 is going to be much less.

15 Okay. Getting back to this extreme examples of
16 initial saturation, this was a nominal case of a recharge
17 flux, a moisture flux of zero. We got 4200 years of persis-
18 tent dry-out. When we go to this case where the repository
19 is nearly flooded, we get about 3800 years of persistent dry-
20 out. So, under high thermal loads--and, I don't consider
21 that a very significant variability relative to other uncer-
22 tainties. If you were to predict the occurrence of episodic
23 fracture flow through the repository for this versus this
24 scenario (indicating), you would find that you would have a

1 much greater likelihood of occurrence of fracture flow to
2 waste package, over this range of initial saturation, but in
3 this case, we've--the high thermal loads, there's a minimal
4 impact on the duration of that dry steam /boiling conditions.

5 And, just to how you that Eric's model is conservatively
6 low, when we considered the heat conduction model, the heat
7 conduction model predicted about 3200 years of dry-out--of,
8 excuse me, dry steam boiling conditions.

9 Some of the coupling phenomena that we need to
10 consider. Two of the most important considerations are what
11 is--well, this is sort of somewhat contrary to a lot of
12 what's been said in the past. But, the vitric tuffs which
13 sit atop of the zeolitized tuffs have not zeolitized by
14 virtue of hot, you know, saturated conditions which occurred
15 in geologic time. However, the drainage of hot water from
16 condensate flow, as well as heating that water, that the
17 upper vitric tuff may indeed zeolitize and that could indeed
18 change the transport properties of that unit. Also, because
19 of persistent condensate flow which should be of very low
20 ionic strength and slightly low pH, that flow through the
21 zeolitized Calico Hills may possibly significantly alter the
22 flow and transport properties of any preferential fracture
23 pathways. So, these are two important considerations.

24 DR. LANGMUIR: Tom, it's going to be initially very

1 aloof, but it's going to pick up salts, and as it recycles,
2 it will get more and more saline.

3 DR. BUSCHECK: You know, I'm not a geochemist. So, you
4 know--low ionic strength condensate water reaching those
5 depths. But, it's probably going to be significantly out of
6 equilibrium with the vedose water in the matrix.

7 As I hope is obvious, the impact of these effects
8 could indeed be very significant if we're living with a
9 fracture flow possibly occurring through the repository
10 horizon not being mitigated by dry-out effects. But, if the
11 dry-out effects do indeed mitigate the occurrence of that
12 fracture-dominated flow, then these altered properties may
13 impact very little, have very little impact, on transport
14 because very little can indeed be transported if the packages
15 remain under boiling conditions.

16 The impact, sort of geomechanical/hydrogeologic
17 coupling, as Larry was saying, there's going to be both
18 thermally, as well as fractures, induced by the mine openings
19 themselves. And, basically, I call this macro-fracturing.
20 By macro-fracturing, I mean fractures which have an aperture
21 which is greater than the critical aperture for fracture
22 dominated flow. Micro-fracturing or aperture fractures in
23 which the fracture will not dominate flow, the matrix will
24 dominate flow.

1 Thermally-induced macro-fracturing, I think, is
2 fairly likely near openings. It may result in additional
3 preferential pathways, but my feeling is that a few drift
4 diameters relative to the scale of the mountain, you're not
5 going to add any critical pathways that don't possibly
6 already exist. But, I think of more importance is the fact
7 that we may actually increase the liquid phase dispersion
8 within fracture networks which would mean that if there was a
9 preferential pathway that it has more tributary fractures to
10 branch off into which could enhance the ability of the matrix
11 to imbibe that flow.

12 Thermally-induced micro-fracturing is a possibility
13 out to the boiling front which is well beyond a couple
14 diameters of the mined openings for high APDs. I think it
15 will very likely increase the matrix capillary diffusivity;
16 thereby enhancing the impact of matrix imbibition on fracture
17 flow attenuation. In both macro and micro-fracturing which
18 result from thermal effects also may enhance the rock dry-out
19 rate though my earlier calculations show this may not be a
20 great effect. I want to point out when we account for non-
21 equilibrium fracture matrix flow that the benefits of
22 increased fracturing will be more apparent for rock dry-out
23 when we can dynamically account for that coupling.

24 Now, getting to the questions that we need to

1 address. The significance of the benefits, problems, and the
2 associated uncertainties, first of all, vapor and liquid flow
3 in fractures, we feel, is the key hydrogeologic consideration
4 to be considered in all these questions. We feel that the
5 repository performance, the near-field performance, and
6 transport performance at higher APDs is less sensitive to
7 potential variability and uncertainty in the hydrogeologic
8 properties. We also found that adequate fracturing which
9 current data indicates that the fractured tuff will promote
10 rock dry-out by boiling and rapid condensate drainage. We
11 also found that the rock dry-out volume above a certain
12 threshold of fracturing which is well below what current data
13 indicates is dominated by thermal load and thermal properties
14 of the system. These thermal load and thermal properties are
15 probably the things that we can most readily characterize and
16 also probably the least variable. For higher APDs and also
17 for a given APD, but going to an older age fuel with a given
18 APD, boiling and rock dry-out benefits can persist or will
19 persist for thousands of years which promotes more favorable
20 waste package conditions which will also greatly enhance the
21 ability of the matrix to attenuate fracture flow. We found
22 that it's hard to get away from performance problems or
23 considerations even at lower APDs; however, at these lower
24 APDs, we see no rock dry-out benefits.

1 Now, specifically addressing the uncertainties, we
2 feel for all the reasons I previously gave that performance
3 modeling under high APDs is much less sensitive to hydro-
4 geologic variability and uncertainty. I mean, the actual
5 performances and then the prediction of that performance
6 would also be less sensitive. However, the currently avail-
7 able data on fracture network properties is obviously
8 limited. We're limited to, you know, borehole traces and the
9 like. We have to get underground to characterize that.
10 Also, the in situ test data for hydrothermal model validation
11 is limited to the various experiments that were conducted in
12 G-Tunnel. And, so that is somewhat of a limitation. There-
13 fore, to resolve uncertainties, we obviously need to get
14 underground to characterize the site and conduct the ESF
15 testing. I also think prototype testing still will be quite
16 useful because if it can occur on an earlier time frame, it
17 will allow us to update various possible design concepts, but
18 also it very importantly will impact our ability to ade-
19 quately test an ESF environment.

20 I want to point out that it's simply not counting
21 the number of fractures which is going to determine the
22 performance. We have to get in there and thermally perturb
23 this fractured rock mass. I feel strongly that even under
24 low thermal loads, since the alteration of the Calico Hills

1 and the TSw3 vitrophyre is significant, that it will be very
2 advantageous not only to thermally perturb or put heaters at
3 the repository horizon, we should also heat underlying and
4 possibly some overlying horizons to watch, you know, in real
5 time the response of the rock mass due to thermal changes and
6 that the importance of that work pertains to low thermal
7 loads, as well as high thermal loads, and by going to dif-
8 ferent environments, it will allow us to more robustly vali-
9 date our modeling approaches.

10 We feel that by going to boiling conditions, we
11 have a better experimental basis for model validation than
12 data that would pertain to ambient or low thermal load condi-
13 tions. There is more to measure. The effects, the geo-
14 chemical coupling, there are various effects that are accel-
15 erated at higher thermal loads and you can observe them in a
16 real time basis.

17 I also feel or we also feel that we're more likely
18 to adequately resolve uncertainties associated with high APDs
19 for the previous reasons I've given than with low. That's
20 not to say that we can't resolve them for low. It's just
21 saying that I think that we'll more readily be able to
22 resolve critical uncertainties for high APDs.

23 Thanks for letting me go over my time.

24 DR. NORTH: Given that we are way over on time, I think

1 we want to hold questions to those that are viewed as cru-
2 cially important by Board members and staff. And then, after
3 that, we'll take a break.

4 Any crucially important questions not already
5 asked?

6 (Laughter.)

7 DR. NORTH: Why don't we try to hold our break to 10
8 minutes. Back here at 10:48.

9 (Whereupon, a brief recess was taken.)

10 DR. NORTH: Let's resume our session.

11 MR. CLONINGER: Okay. May I have your attention,
12 please? We need to get rolling here. Can I have your atten-
13 tion, please? Our next speaker will be Brian Viani from
14 Lawrence Livermore National Laboratory. He will be discuss-
15 ing the geochemical aspects.

16 DR. NORTH: We're resuming with Brian Viani of Lawrence
17 Livermore Laboratory.

18 DR. VIANI: Thank you. This should be a brief talk.
19 Some of it will summarize what has been done at Livermore in
20 the area of rock/water interactions and I will basically
21 restrict my discussion to rock/water interactions. I will
22 not be discussing interactions between other materials, waste
23 form, et cetera, in the near-field. And, I hope to lead you
24 or show you several things I think are important.

1 One is that the uncertainties in the fundamental
2 geochemical processes that are likely to occur are not likely
3 to be much different under low or high thermal loading.
4 However, the uncertainties in coupled hydrologic and geochem-
5 ical processes are likely to be greater than the uncer-
6 tainties in the geochemistry alone and that, in fact, without
7 a specific analysis of identified hydrologic/geochemical
8 scenarios, one could be led to the wrong conclusions about
9 the effect of temperature on geochemical processes. And,
10 finally, the analysis of these specific scenarios has not
11 been done at this point.

12 Clearly, we need to predict the variation in the
13 composition of the groundwater in the repository over time
14 and space and this is the common denominator that will con-
15 trol the solubility of radionuclides, that will control the
16 corrosion that may occur in the waste package, and control
17 the reactivity of the materials in the waste package. So,
18 it's something we need to predict. Basically, its composi-
19 tion is going to be a function of temperature to some degree
20 because of the interaction of water and rock and also on the
21 hydrological scenarios that Tom Buscheck has told you about
22 earlier. We also need to predict the ability of the rock
23 matrix, fracture codings, and other components to sorb radio-
24 nuclides. And, I bring this up in the near-field because I

1 think it's something that we need to understand as a function
2 of temperature and is not always addressed. And, finally, as
3 Tom alluded to, are there geochemical reactions that can
4 affect the hydrological situation in the repository and
5 that's something we have to look at, as well.

6 In distinguishing something, I'm going from the
7 mineral geochemical processes, such as dissolution and pre-
8 cipitation, from what I'll discuss later in terms of coupled
9 hydrologic/geochemical scenarios. Basically, we need to know
10 these processes as a function of temperature clearly, but
11 also as a function of the activity of water in the system,
12 namely the relative humidity.

13 And, the basic concept is that if the rock is dry,
14 no reactions will occur. My question is at what point is the
15 rock dry enough so that reactions aren't occurring? If one
16 looks at the characteristic properties of the Topopah Springs
17 that relates activity of water to saturation in the rock, one
18 can get an idea that probably below saturations of 20% the
19 activity of water will be below .8; where clearly at 30 and
20 40 and 50% saturation, the activity of water will be near 1.
21 And, basically, under those situations, we can model the
22 reactions, the water/rock reactions using the codes that we
23 have in hand. But, that's clearly an unknown.

24 Basically, we need to know how temperature affects

1 the dissolution and precipitation of the big actors in the
2 system, namely the zeolites and the fracture filling
3 minerals. And, elevated temperature can have benefits in the
4 sense that new minerals that are formed that have exchange
5 capacity or can sorb radionuclides may also have detrimental
6 effects in terms of dissolution effects. The benefits and
7 detriments will not be able to be resolved without an anal-
8 ysis of specific scenarios, though. Similarly, in sorption
9 --and, I use this word very generally to include at least
10 several phenomena that can be modeled explicitly--such as
11 cation exchange or surface complexation, the temperature can
12 have a strong effect, but again, as I will show, that effect
13 can be different depending on the scenario one chooses to
14 look at.

15 Just to summarize some of the work that has been
16 done at Livermore in modeling and in experiment and basically
17 this is--you can consider this sort of generic geochemical
18 modeling and experiment in the sense that no specific
19 scenario was addressed, that the experiments were closed
20 systems with a rather high water/rock ratio in comparison to
21 the water/rock ratios existing in the matrix of the rock,
22 probably low water/rock ratios in comparison to water/rock
23 ratios that you may obtain in a fracture. And, to summarize,
24 modeling and experiment are consistent with one another in

1 that the activity of aqueous silica, concentration of aqueous
2 silica or the activity of aqueous silica, is the dominant
3 variable controlling the types of phases one sees in the
4 system and that the activity of silica in experiment and in
5 model is controlled by the solubility of the least stable
6 silica polymorph. But, we find that where cristobalite and
7 glass exist in an experiment or in a modeling run that the
8 zeolites, such as clinoptilolite and mordenite, and clay,
9 such as smectite, can be formed and these are phases really
10 that have significant exchange capacities and, therefore,
11 significant sorption capacities. In contrast, for situations
12 in which the silica activity is controlled by quartz solu-
13 bility and is therefore low, phases such as analcime and
14 feldspars are favored relative to clinoptilolite and smec-
15 tite.

16 Now, in a repository, we have cristobalite, we have
17 glass, we have quartz and the evolution of the silica poly-
18 morphs from a more soluble phase such as glass to quartz is
19 controlled by kinetics. And, therefore, one would expect
20 that increasing the temperature is going to increase the rate
21 at which one will go from a more highly soluble polymorph to
22 quartz. That over the temperature range we're considering,
23 the rates that have been proposed are on the orders of tens
24 of thousands of years at 100°C for conversion of opal to

1 cristobalite or opal-Ct and similar sorts of times from that
2 opal-Ct to quartz. So, we're looking at a long period of
3 time even at 100°C with the evolution of silica polymorphs.

4 Superimposed on that, one needs to know what is the
5 rate of dissolution of the zeolites if, in fact, the evolu-
6 tion of silica polymorphs does go to quartz and the silica
7 activity is lowered and at some point--

8 DR. LANGMUIR: Brian, don't all the polymorphs go to
9 quartz at about 200° rather quickly when you get that hot?

10 DR. VIANI: When you get that high, we're looking at
11 hundreds of years probably, at least from the extrapolating
12 experiment in terms of the conversion to the second poly-
13 morphs, yes.

14 From the modeling though and experiments, the
15 relatively short-term experiments, at temperatures near 100
16 and above 100, in short-terms at 250 for that matter--and,
17 I'll show you an example of that--the phases that are formed
18 are, in fact, the zeolitic and secondary phases that exist in
19 the rock now. This is an experiment that Kevin Knauss had
20 run and basically this just shows that even at 250°C over a
21 period of time of on the order of a month or so, that a
22 vitric tuff is converting to clinoptilolite basically quite
23 extensively. Now, I will contrast this with observations
24 that Kevin made at much lower temperatures of 150° and lower

1 where he sees virtually no reaction over that same period of
2 time. That's not to say that that reaction would not occur,
3 but certainly interpretation of these experiments at lower
4 temperatures are difficult because there are no results. At
5 higher temperatures, we have results and we know we're making
6 those phases, but we have a lot of silica in solution. The
7 question is over a period of time when the glass is com-
8 pletely dissolved and altered to a more stable polymorph, at
9 that point in time clinoptilolite would become unstable.

10 DR. LANGMUIR: Brian, are there any experiments which
11 have produced kinetic data, rate data, for precipitation of
12 zeolites which we could then extrapolate to longer times and
13 lower temperatures?

14 DR. VIANI: We actually had some work going on at Yale
15 and Penn State on that, but I don't believe that they have
16 actually completed that work. I mean, it's not ongoing at
17 this point. I don't know of any precipitation kinetics for
18 zeolites--for clinoptilolites, anyway. I think there's even
19 a lack of data for dissolution kinetics of that phase which
20 is a lot easier to do.

21 We also looked at incorporating ion exchange models
22 and attempting to match them or look at how they match with
23 experiments. Basically, that for at least the alkalis and
24 alkaline earths, we can predict relatively confidently the

1 composition of the clinoptilolite and its sorptive capacity
2 with regard to, say, cesium and strontium. We can predict
3 compositions with clinoptilolite formed during hydrothermal
4 experiments. There is really a lack of data though at ele-
5 vated temperature and our modeling suggests using estimated
6 data that ion exchange equilibria are very sensitive to
7 temperature. However, to address the extent of the reaction
8 and even the direction of the reaction requires again a
9 specific analysis of a particular scenario.

10 This was taken from Tom's talk. If we look at two
11 particular areas in this conceptualization of what might
12 happen, one might look at the area of the condensation zone
13 where you have refluxing. And, basically, one can look at an
14 area where one has condensation and flow through a fracture
15 out of the system. And, in one case, you're continuously
16 condensing a dilute fluid in a rock which is then reacting
17 with the rock, re-evaporating or boiling, and then in so
18 doing becoming more concentrated and this is continuing
19 around. In the other case, one has a fracture in which the
20 fluid is condensing and moving through the fracture, a more
21 open system in which one might envision perhaps a dissolution
22 at that point.

23 Clearly, in order to understand the geochemistry
24 that might go on, we need to be constrained by the rock/water

1 mass in the simplest sense. We need hydrologists to say how
2 much fluid is going to be moving in a fracture. We can model
3 these things given those constraints and I'll show you an
4 example of that, a very simple example. But, clearly, under-
5 standing the extent of fracture mineral dissolution requires
6 an understanding of the amount of fluid passing that point
7 and understanding the extent of alteration and permeability
8 along the boiling isotherm due to precipitation of phases in
9 that zone requires again some understanding of just how much
10 fluid is recycling and refluxing at that position.

11 DR. LANGMUIR: Brian, is there any experimental work, at
12 all, in this area that's been identified or anticipated?

13 DR. VIANI: There's a set of studies that have been done
14 at VPI that address the refluxing situation. I won't discuss
15 it, but I'll compare that to some of the results that Kevin
16 got in a just a second.

17 Just to show you how sensitive our predictions
18 might be depending on the hydrologic scenario that one can
19 envision, basically what I have here--the details are listed
20 in this little inset down at the bottom--is a prediction of
21 the K_a for cesium and strontium on the right on a rock com-
22 posed of approximately 50% clinoptilolite. The predictions
23 were made using EQ-3 which is a geochemical modeling and
24 using published ion exchange data. Basically, we know that

1 the predictions fit the data of 25° because we've essentially
2 looked at how this compares to the sorption experimental
3 results that were done at Los Alamos. However, the data at
4 other temperature are estimated. That's an important point
5 to remember.

6 Well, what one sees is that if you look at what
7 might happen where the water/rock ratio is small--0.19 con-
8 forms to basically the water/rock ratio in a matrix of
9 approximately 30% porosity or 20 which corresponds to the
10 water/rock ratio as used in absorption experiment at Los
11 Alamos--basically, you see that for cesium, the K_d decreases
12 with temperature, but that decrease is more precipitous when
13 the water/rock ratio approaches infinity. Now, at some point
14 in time, if you were looking at what is happening in a frac-
15 ture versus what's happening in the matrix, the water/rock
16 ratio is going be somewhere between here and here (indi-
17 cating) and we need to know what that might be because in the
18 case of strontium, the predictive effect of temperature is
19 opposite, is in the opposite direction. Basically, there is
20 equilibrium situations assumed in this model. So, that's one
21 area where we need to--as geochemists, we need to explicitly
22 include the output from the hydrologic models.

23 Now, going back to your questions about experiments
24 regarding refluxing, et cetera. When we look at the results

1 of Kevin's experiment with the vitric material, when he does
2 these experiments at 150° or 100°, he doesn't see anything.
3 Yet, some of the experiments that have been done at VPI where
4 a crushed tuff material has been subjected to refluxing shows
5 the growth of zeolites at 100°C. Now, on a closed bomb
6 experiment, you don't see any reaction. Yet, changing the
7 particular features of the experiment, even going to lower
8 temperatures, you show a lot more reaction. So, clearly,
9 both in an experimental sense and in a modeling sense, the
10 specifics and areas are important.

11 The benefits and detriments related to elevated
12 temperature, I think if we dealt with a--if we were given a
13 specific system in which to analyze it, is it a closed system
14 or a fracture system, I think inherently we could address the
15 uncertainties. At this point, I think the benefits and/or
16 the detriments await further analysis of these specific
17 scenarios. The geochemical processes and I would say the
18 coupled geochemical/hydrological processes are expected to be
19 qualitatively similar over the thermal range that we're
20 anticipating the repository. Perhaps, if it's very, very
21 cold or very, very hot, that would not be the case. But,
22 certainly, one would expect evaporation/condensation effects.
23 The extent of those reactions, though, can be significantly
24 different depending on the temperature.

1 Finally, the uncertainties I think associated with
2 the fundamental geochemical processes are similar for hot and
3 cold scenarios. I don't think there's any particular process
4 that we need to address at either end of the thermal spectrum
5 that we haven't addressed already.

6 And, finally, coupling, as I've said before, the
7 processes--and I don't mean coupling codes. I mean actually
8 analyzing these coupling processes is going to introduce
9 greater uncertainties than attacking either of those separ-
10 ately. But, I don't think one can do the geochemistry with-
11 out it.

12 Finally, to resolve the issues related to quantify-
13 ing the benefits and/or detriments and reducing the uncer-
14 tainties, I think under the existing scope or the scientific
15 plans that we are addressing the critical scientific issues
16 that will allow us to resolve the issues. However, I think
17 that this integration of geochemistry and hydrology must take
18 place given specific scenarios and that has to be the driving
19 force, I think, at this point on in terms of some of the
20 geochemical program. And, the elements that we require
21 within this program, I feel, has to be driven by the scenario
22 and in this instance for the geochemical for modeling appli-
23 cations to identify the experiments that may be relevant.
24 Clearly, the results of the closed system experiments are

1 quite different than refluxing experiments. And, appropriate
2 experiments need to be designed to essentially model what may
3 be happening in a hydrological situation. And, also to
4 define the thermodynamic and kinetic data that might be
5 required. At this point, I think we have to go away from
6 sort of generic geochemistry and looking at all the thermo-
7 dynamic data and zero in on data necessary for analyzing some
8 of these scenarios. There may be some model development with
9 regard to sorption at elevated temperatures that we have to
10 address and certainly we need more kinetics data.

11 And, finally, I think clearly it has to involve
12 some natural analog work where the same sorts of processes
13 have been observed or inferred, at least, to see how well we
14 can do in understanding those situations. Although the frame
15 work exists for doing this within the plans, at this point in
16 time, there will be no funding of geochemistry in the near-
17 field program over the next year. This work as developed
18 here will be deferred at least for this coming year.

19 DR. LANGMUIR: Brian, what do you see that the program
20 should be doing in order to address the couple problems that
21 relate to Tom's earlier talk on the transport of condensate
22 and the properties of the matrix and just characterizing the
23 system so you can better--could have perhaps some confidence
24 in a high temperature system as being the appropriate one?

1 DR. VIANI: I think what needs to be done is that the
2 hydrologists and the geochemists have to talk a little more
3 on certain issues. And, I think that the geochemists have
4 got to analyze those specific scenarios, at least to place
5 some bounds on what is reasonable. Clearly, an infinite
6 water/rock ratio is not reasonable, but I didn't know where
7 to put that boundary. But, that analysis has to be done. I
8 think critical points within the repository situation have to
9 be addressed from the point of view of geochemistry as what
10 may happen in the matrix, what may happen in the fracture,
11 what may happen in the reflux zone, and that has to be
12 addressed in three areas; one is the experiment, two is the
13 modeling, and three is the natural analog. I think all of
14 that is within the scope of the existing sort of framework
15 that has been essentially put forward in the area of near-
16 field geochemistry at this point in time. But, as I said, it
17 is deferred at this point in time.

18 DR. LANGMUIR: A nasty financial question and a staffing
19 question. That without any funding in the program, can you
20 hope to have continuity? Can you start up again in 12 months
21 and be able to jump immediately if you had the funding into a
22 program which could address these concerns, the kinetics, the
23 experimental work, the analogs, and so on?

24 DR. VIANI: I think it's going to be on a person by

1 person basis. At least, at this point in time, geochemists
2 who are off the program clearly are not waiting in the wings.
3 They're on other programs. And, so it will have to be a
4 person by person basis and might be difficult in certain
5 instances, yes.

6 DR. LANGMUIR: Your modeling is similarly going to be
7 done with EQ3/6 and it has the capability of doing kinetics.

8 DR. VIANI: Yes. Yes.

9 DR. LANGMUIR: The program as it stands, I gather, is
10 not really validated. It hasn't been taken through QA. It's
11 going to require some additional work, I presume, to be able
12 to handle these problems and to be used within the program
13 with confidence?

14 DR. VIANI: Yes, I haven't addressed those issues here.
15 What I was mostly concerned with was geochemistry applica-
16 tions in the near-field. Clearly, some of those applica-
17 tions, in fact, most of them, will require use of this code.
18 There will be some work done this year in terms of verifica-
19 tion of the code and yet there is additional work. For
20 instance, the ion exchange model that I presented now, the
21 results of that, has not been put in the version of the code
22 that is the most recent mainly because we have not the staff
23 to do that at this point in time. Clearly, that has to be
24 done and my assumption is that will be done in order for us

1 to go on and address what I think are the nitty-gritty issues
2 which are the actual geochemical effects in the near-field.
3 But, that certainly is a necessary part of it.

4 DR. NORTH: I think we want to hold further questions
5 and go on with David Bish on mineralogical uncertainties.
6 Then, we can come back for the questions for both talks.

7 DR. BISH: What I'm going to talk to you about now are
8 some of the things you've heard alluded to in the past couple
9 of talks, essentially the mineralogical uncertainties related
10 to whether we go with the high or low thermal loading. I've
11 divided my presentations into four different areas. First,
12 I'll talk to you about the mineralogy of the host rock right
13 around the proposed repository level and a little bit about
14 the mineralogy of Yucca Mountain as a whole; distribution of
15 zeolites, for example. I'll touch on the effects of dehydra-
16 tion/rehydration reactions and the intimately associated
17 effects of contraction and expansion, volumetric contraction
18 and expansion of some of the hydrous phases. I'll just
19 briefly talk about the effects of heating on the sorptive
20 properties of the minerals at Yucca Mountain and finally
21 discuss the long-term stability of a number of phases at
22 Yucca Mountain.

23 Well, the rocks at Yucca Mountain consist of a
24 variety of interesting minerals. We have a couple of what I

1 would say in the temperature regime we're talking about are
2 relatively stable phases including quartz and feldspar.
3 We've got phases that may dehydrate or rehydrate depending on
4 the hydration conditions including smectite, which many of
5 you may know just as clay---it is the clay at Yucca Mountain
6 at the depths we're worried about--clinoptilolite and
7 mordenite which are both zeolites that are common and vol-
8 canic glass. We also have a variety of minerals that may
9 transform to other phases or may dissolve including the
10 silica phases, both crystalline and the non-crystalline,
11 smectite which may transform to illite through the illite to
12 smectite series, clinoptilolite again which may transform to
13 analcime and also mordenite.

14 Now, when we worry about the types of reactions
15 that may occur at the repository environment, it's important
16 to keep in mind the vertical and lateral distribution of
17 minerals at Yucca Mountain. I've got a couple of figures in
18 your packet that describe that. This is a west to east
19 cross-section showing the distribution of a variety of impor-
20 tant features at Yucca Mountain. This is the repository
21 horizon schematically depicted here in the Topopah Spring
22 member which consists predominately from here up of quartz
23 and feldspar and some cristobalite and a small amount of
24 smectite. We have an interesting zone right above this

1 vitrophyre which is black. The zone cuts across most of
2 Yucca Mountain, the zone just above the vitrophyre, and
3 contains large amounts of both zeolites and smectites and
4 it's interesting from that point of view. The vitrophyre is
5 essentially volcanic glass, but it has a relatively low
6 permeability. It's densely welded. Underlying that, it
7 depends where we are both east and west across Yucca Mountain
8 and north and south, whether or not we have vitric Calico
9 Hills tuff or zeolitized Calico Hills tuff. So, you can see
10 right away it's important where we are across Yucca Mountain
11 what types of mineral reactions we can expect. I've just
12 shown here schematically the static water level.

13 You've heard a lot of talk about the importance of
14 zeolites and these are primarily clinoptilolite and the
15 potential for reaction. And, this slide really shows some-
16 thing that's quite important and that is that going across
17 the repository block the distance between the base of the
18 repository horizon, namely right here (indicating), and the
19 first significant occurrence of clinoptilolite--and, by that
20 I mean a significant chunk of rock meaning not this piece
21 here (indicating) that contains 20% clinoptilolite or more--
22 we see at the northern end of Yucca Mountain, we have almost
23 100 meters between the base of the repository and the top of
24 significant zeolitic horizons and that deepens significantly

1 as we go southward. So, that's an important thing to keep in
2 mind. Tom Buscheck's plot showing the temperature in the
3 Calico Hills unit was at 60 meters depth and that doesn't
4 occur in this block.

5 The next figure in your packet, I won't talk about
6 since Tom has spent a few seconds on something like that, but
7 essentially it gives you an idea of the temperatures related
8 to stratigraphy.

9 Now, moving on to dehydration/rehydration reactions
10 which I mentioned were important with the phases such as
11 clinoptilolite, mordenite, smectite, and volcanic glass, it's
12 clear that the hydration state of these phases, particularly
13 the zeolites and clays, will change whenever the partial
14 pressure of water changes or the temperature changes.
15 There's no single magic temperature or vapor pressure of
16 water that will cause an abrupt change. It's a continuous
17 function. The nice thing about these dehydration reactions
18 or rehydration reactions in the temperature range below about
19 200°C is that most of them are reversible, at least in the
20 time scale for which we have experience and data. In other
21 words, minerals will rehydrate as temperatures decrease or as
22 the partial pressure of water increases.

23 I say here that the uncertainty in these reactions
24 is not strongly dependent on temperature and it's something

1 that is relatively easy to measure. The important uncer-
2 tainty is the vapor pressure of water in the repository
3 environment and that's a recurring theme throughout my pre-
4 sentation that that's one of the most important unknowns we
5 have. Thus, I say that I believe it's important to couple
6 geochemical and hydrologic and mineralogic models because all
7 of the processes that we're interested in are coupled. You
8 can't assume that a dehydrating rock mass is passive because
9 the minerals in the rock mass actually participate.

10 Now, associated with--

11 DR. DEERE: A question?

12 DR. BISH: Yes?

13 DR. DEERE: On your rehydration, you say most of them
14 rehydrate below 200°. Would this also apply to the smectite?

15 DR. BISH: Yes. For short-term heatings, even including
16 dry heatings, smectite rehydrates readily under all
17 conditions for the compositions of zeolites or of smectites
18 that we have at Yucca Mountain until temperatures in excess
19 of 400° are reached. When you experiment with smectites
20 having small interlayer cations which we don't have--for
21 example, magnesium, if we had a magnesium saturated smectite
22 which is relatively rare in nature, that magnesium migrates
23 at elevated temperatures and rehydration is inhibited.

24 DR. DEERE: Are these mostly sodium or calcium?

1 DR. BISH: Yes. Sodium, calcium, potassium. Primarily,
2 sodium and calcium.

3 DR. LANGMUIR: These conclusions are based upon experi-
4 mental work in the lab or on your analog work when you're
5 looking at--where you have more evidence through long periods
6 of time which relate to our heating periods here.

7 DR. BISH: The results pertaining to dehydration and
8 rehydration are based solely on laboratory measurements
9 because it's difficult to extract that kind of information
10 from natural analog studies because typically what we see in
11 natural analog studies are general reactions that are not
12 reversible, say, smectite to illite.

13 DR. LANGMUIR: Do we know enough to predict what would
14 happen over hundreds of years--

15 DR. BISH: No, that's something I'll emphasize that the
16 problem of kinetics is significant at these low temperatures.

17 Related to the dehydration/rehydration processes is
18 something that goes along, the expansion and contraction,
19 essentially the change in molar volume of these phases.
20 Again, just as the dehydration and rehydration reactions are,
21 these reactions are a function of the partial pressure of
22 water and temperature. Both of these classes of minerals
23 contract significantly on dehydration. The zeolites in the
24 temperature range that we're looking at and the expected

1 partial pressures of water, however, contract by only a
2 maximum of several percent. Smectites can contract by a
3 factor of several.

4 I have some data for clinoptilolite of a variety of
5 exchangeable cation compositions and you can see that if it's
6 a strong effect of exchangeable cation compositions for
7 sodium, potassium, calcium, saturated clinoptilolite and
8 natural clinoptilolite from drillhole G-4. Let me just
9 briefly explain these data. On this axis here, I have the
10 volume of the unit cell which is directly related to the
11 molar volume. The axis at the bottom is partially tempera-
12 ture. RT-1 signifies data that were collected under room
13 temperature conditions and room humidity conditions. VAC-1
14 signifies data collected under room temperature conditions
15 but in a vacuum so that we were under low hydration condi-
16 tions. Then, we go up 50 to 100 and so on up to 300°C in a
17 vacuum for the red dots and in air that's saturated at room
18 temperature for the pluses. VAC-2 for the red ones are data
19 collected at room temperature, back down at room temperature
20 in a vacuum. And, RT-2 is back in room conditions, room
21 relative humidity, and 100% relative humidity for the pluses.
22 And, we can see a number of interesting trends, but the
23 important thing is--there are a couple of important things.
24 Number one, the maximum volume decrease we see is with the

1 sodium saturated clinoptilolite that occurs for the most part
2 by 100°C and that's an 8% volume decrease. That's not appli-
3 cable to a repository environment. That's in a vacuum. We
4 see what happens when we do this experiment at elevated P_{H_2O}
5 or slightly, very slightly elevated actually, P_{H_2O} conditions.
6 The volume decreases by 100 or even 200°C in water saturated
7 air. The volume reductions are very small. We can see that
8 it is a sensitive function of composition. So, because of
9 these data, that's why I say that the zeolites will contract
10 by only a couple of a percent, but it's a measurable, it's a
11 macroscopically measurable effect, as I'll show you in a
12 minute.

13 Now, for the smectites, say, that they can expand
14 and contract by a factor of two or more. These are data for
15 sodium smectite taken from the literature. We're fortunate
16 with smectites that there are a lot of literature data that
17 we can draw on. We can see at high relative humidities we
18 have what we call a basal spacing. It's the layer repeat
19 distance for the layer structure of over 15 Angstroms and
20 there's a significant decrease. There's about a 2-1/2 Ang-
21 strom decrease on changing relative humidity in this region.
22 Based on much of Tom's calculations and some of the first
23 information we have on the expected partial pressure water
24 conditions, we think we'll probably be up in this region

1 (indicating) so that this type of collapse will occur only in
2 the low P_{H_2O} area. I'll get into the implications of that in
3 just a minute.

4 I think probably the most implications for smectite
5 dehydration and rehydration and associated collapse is that
6 smectites that are lining fractures--and these occur in the
7 Topopah Spring member so they'll be in the region that will
8 be significantly heated--can potentially collapse at the
9 highest temperature, lowest P_{H_2O} area. As I mentioned though
10 at these temperatures of 200 and below, the reactions are
11 reversible so that the pathways will probably return to their
12 original state when the minerals rehydrate as temperature
13 decreases and the partial pressure of water increases.

14 There have been a couple of questions about gas
15 transport and the one area where we can conceive of that this
16 may be more important is that when these fractures--when the
17 materials lining the fractures are dehydrated, they're col-
18 lapsed, that there may be enhanced pathways for gaseous
19 transport through fractures that were otherwise in the
20 original state essentially sealed by expanded smectites.
21 Now, the data I've shown you for the zeolites, as I men-
22 tioned, have a macroscopic manifestation.

23 We've conducted a number of experiments looking at
24 the axially confined hydration of one inch diameter pieces of

1 core that were instrumented with collaboration with some of
2 the geophysicists at Los Alamos. These are data showing
3 axially confined hydration of cores that were vacuum dried
4 for three days for Topopah Springs tuff, the densely welded
5 portion of the tuff, and for the zeolitized Calico Hills. I
6 should emphasize that vacuum drying for three days doesn't
7 dry out a zeolitized tuff very much. There's a lot of water
8 in the sample still at room temperature. You can see here
9 when we re-immers these cores in water and measure the
10 stress generated, we get a small amount essentially of expan-
11 sion of the devitrified tuff. It's difficult to say what
12 this is due to, but we think that it's probably due to the
13 minor amount, a couple of a percent, of smectite in the rock.

14 The zeolitized tuff, on the other hand, generates a
15 stress approximately an order of magnitude greater than is
16 observed in the divitrified tuff. I think about all I can
17 say with that is that there's a potential effect on the rock
18 strength. I think it will require some more experiments and
19 perhaps some modeling to see what the large scale macroscopic
20 effects will be on the rock strength. But, it's an interest-
21 ing large scale manifestation of these data that we've seen
22 for clinoptilolite.

23 Just touching briefly on sorptive properties of
24 both smectite and zeolites, there are abundant literature

1 data on the cation exchange data or cation exchange data for
2 smectites and sorptive data and all of these data show very
3 little or no effect on smectite cation exchange capacity as
4 it's transformed to illite smectite. There's essentially a
5 continuous linear decrease in the cation exchange capacity as
6 the material goes to illite. As I'll tell you in a few
7 minutes, I think this probably won't even be an important
8 reaction at Yucca Mountain.

9 From limited experimental data that we've collected
10 at Los Alamos, we believe that there's probably little or no
11 effect on the sorptive properties of clinoptilolite even when
12 materials have been severely degraded by temperature. These
13 are data for three series of clinoptilolite samples, an
14 unheated sample, a sample that was heated to 105°C for 385
15 days dry, and a sample that was heated to 200°C. The sample
16 that was heated to 200°C for 385 days dry actually showed
17 evidence of structural transformations resulting in collapse
18 of the zeolite structure around the exchangeable cations.
19 And, it was our initial assumption that this reaction that we
20 observed would have a significant impact on the sorptive
21 properties of the clinoptilolite. And, as you can see, these
22 are R_v values for strontium, cesium, barium, and europium and
23 there are no consistent or large trends, although we've
24 decreased from 400,000 to 200,000. I don't think that's

1 anything that we pay a whole lot of attention to, because
2 it's still huge.

3 DR. LANGMUIR: Dave, what do we know about the effective
4 temperature on the sorption by the smectites and zeolites? I
5 don't mean just up and down, but the--are these exothermic or
6 endothermic in terms of the sorption? Do they increase or
7 decrease sorption properties with temperature below 100?

8 DR. BISH: I think I'd have to defer that to Brian.

9 DR. VIANI: If you're measuring sorption at temperature
10 as opposed to measuring it at 23°, I can show you plots of
11 how the cation exchange equilibria change with temperature.
12 There's the log K of the reactions and clearly there are
13 differences between the alkalis and alkaline--I have not
14 looked at barium and europium. But, whether you predict an
15 increase or a decrease in K_a , it depends very strongly on the
16 water/rock ratio because the K_a is a function of the clinop-
17 tilolite composition and as a function of the water, as well.
18 In high water/rock ratios, the composition of the clinop-
19 tilolite will be controlled by the water composition and a
20 low will be controlled by the clinoptilolite and that will
21 control the K_a and, therefore, the interplay of those things
22 will make K_a go up or down in the case of strontium, basic-
23 ally down in the case of cesium with temperature.

24 DR. BISH: Finally, to address something that I think is

1 the most interesting mineralogic aspect of the heat pulse at
2 Yucca Mountain. That is the long-term stability or the
3 propensity for minerals at Yucca Mountain to change to other
4 minerals over the long-term. There's been a lot of interest
5 in whether or not clinoptilolite will react to other phases
6 and certainly there's a potential for clinoptilolite theoret-
7 ically to react to analcime or to mordenite. We have evi-
8 dence in the northern most drillhole that we've looked at, G-
9 2, that clinoptilolite as the temperature was increased
10 reacted to mordenite and then to analcime at temperatures in
11 excess of 100°C. I say here that it appears stable in satur-
12 ated rock to about 100°C. There are a number of assumptions
13 in that statement. Number one, that we don't have high water
14 salinities, high salinities of water, because there are data
15 suggesting strongly that clinoptilolite may react to analcime
16 at considerably lower temperatures at elevated salinities.
17 There are more and more data that we're obtaining that sug-
18 gests that the reaction of clinoptilolite to analcime is a
19 strong function of the silica activity and Brian alluded to
20 this a bit. But, it appears that for the reaction of clinop-
21 tilolite to analcime to be important in Yucca Mountain, a
22 tremendous amount of low stability silicic minerals would
23 have to disappear and be transformed to quartz, essentially.
24 The large amounts of clinoptilolite in the Calico Hills unit

1 are intimately mixed with both opal-Ct and cristobalite in
2 amounts of 10 to 40% and our data that we've obtained, so
3 far, some of which are natural analog data, suggest that for
4 that reaction to go, all of that material would have to
5 transform to quartz. And, as Brian mentioned, the tempera-
6 tures that we're dealing with, the reaction of opal-Ct or
7 cristobalite to quartz would take tens of thousands of years
8 at temperatures above 100°C. Comparable data suggests that
9 mordenite is stable to at least 130°C, although the same
10 caveats about water composition apply here.

11 The volcanic glass is an interesting phase at Yucca
12 Mountain and I think it probably has the most potential for
13 altering at the temperatures that we're dealing with and the
14 time scale. I said here that it may alter at low tempera-
15 tures in saturated rock to other silica phases, opal-Ct or
16 cristobalite, to smectite or to zeolites. As Brian men-
17 tioned, experimental work at Livermore produced smectites and
18 zeolites from the vitrophyre at the temperature of 250°C,
19 whereas lower temperature experiments below 250°C did not
20 produce these secondary phases. I think it's probable that
21 the nonwelded vitric tuff that I outlined in one of my first
22 slides on this side that in some places closely underlie the
23 repository horizon will alter to clinoptilolite and/or smec-
24 tite if some of the things that Tom was saying are true.

1 That if we have a pulse of hot condensate percolating through
2 this very permeable material, I think it very likely that
3 this material, considering its reactivity, will react to
4 secondary phases readily.

5 Continuing in the long-term stability, just a few
6 other interesting reactions. I mentioned that it appears
7 that the cristobalite, tridymite, or opal-Ct must react to
8 quartz before we can have the clinoptilolite to analcime
9 reaction. This reaction can occur at low temperatures
10 through a solution precipitation reaction, but it requires
11 tens of thousands of years. In addition to affecting the
12 other mineralogic reactions in the tuffs at Yucca Mountain,
13 there's a significant change in volume when we go from cris-
14 tobalite to quartz, a volume decrease of 12%. And, in the
15 rocks around the repository horizon, there's generally
16 between 10 and 20% cristobalite. I just mention this because
17 it's been referred to in a couple of other talks, particu-
18 larly Larry Costin's this morning that the alpha to beta
19 cristobalite reaction which is reversible--shouldn't neces-
20 sarily be under long-term stability--occurs at around 230°
21 with a positive delta V.

22 Now, I've referred to what is some of my conclu-
23 sions about smectite. It's well known from literature data
24 and we have some data at Yucca Mountain also that show that

1 smectite reacts to illite through the, by now well known,
2 illite/smectite series with increasing temperature, I say
3 here, under saturated conditions. And, there are more and
4 more data now in the literature that show that saturated
5 conditions and relatively high permeability is a prerequisite
6 for this reaction to occur. There are several papers dis-
7 cussing the kinetics of the smectite to illite reaction in
8 the literature. We haven't felt the need to reproduce them.
9 They show that at temperatures around 100°C, it takes times
10 in excess of 10^6 years with adequate water to form--to sig-
11 nificantly illitize the smectite. Under the water/rock
12 ratios that we expect at Yucca Mountain, which are much lower
13 than, say, Gulf Coast sediments where this reaction has been
14 studied a lot, this may not even be accurate. It may be low.
15 So, I think the smectite to illite reaction is not going to
16 be something that we need to be concerned with.

17 Again, back to something that was mentioned
18 earlier, for all of these reactions, increasing the tempera-
19 ture or increasing the thermal load will improve our ability
20 to predict what reactions occur because this will partially
21 mitigate our kinetic problems. It's very difficult experi-
22 mentally to determine what's going to happen in the 100° or
23 below range because the reaction times are way beyond our
24 lifetime.

1 DR. LANGMUIR: Dave, that's if you've got water.

2 DR. BISH: That's correct.

3 DR. LANGMUIR: But, if the increased temperature means
4 the water goes away, the rates go down?

5 DR. BISH: That's right. That's right.

6 We do have some interesting data that Schon Levy at
7 Los Alamos has been able to obtain using the alteration of
8 the vitrophyre. I can probably put that slide back up real
9 quickly. That underlies the repository horizon. That's that
10 dark band. She's observed some very interesting alteration
11 in this zone between the vitrophyre and the divitrified tuff.
12 In other words, what we call the transition between TSw2
13 which is the devit tuff and the vitrophyre. And, we believe
14 that it's a potential natural analog for repository-induced
15 alteration, particularly of volcanic glass, both vitrophyre
16 and vitric tuff. The alteration in this setting was dynamic
17 and it was concentrated around fractures. So, we really
18 don't know a whole lot about the state of saturation and the
19 alteration varies all over the mountain. But, the natural
20 alteration assemblage suggests that the vitrophyre altered to
21 clinoptilolite, smectite, and silica phases. We know these
22 phases are present, but our data suggests that the alteration
23 occurred at relatively low temperatures which is quite inter-
24 esting.

1 And, we've obtained some oxygen isotopic informa-
2 tion for three samples from Yucca Mountain, and depending on
3 whose fractionation curves you use, you get a range--we
4 obtain a range of reaction temperatures from 40 to 100°C for
5 the reaction of the volcanic glass to more stable silica
6 phases. In this case, we looked at quartz. So, these data
7 demonstrate, first of all, the reactivity of the glass phases
8 at relative low temperatures and that's why I said that we
9 feel we can probably safely say that the vitric tuffs and the
10 vitrophyre will alter, at least partially, the secondary
11 phases under the conditions we expect.

12 So, in summary, there's significant amounts of
13 volcanic glass, zeolites, and smectites close to the reposi-
14 tory horizon, primarily beneath in that interesting zone I
15 discussed. The hydration state of the zeolite, both the
16 zeolites and the clays, can change whenever the temperature
17 or the P_{H_2O} change. The volume decreases are largely revers-
18 ible in the temperature range we're talking about and there's
19 a potential for creation of fractures and differential
20 stresses through these volume decreases and increases.

21 The sorptive properties appear to be little
22 affected by hydration. An interesting conclusion I think we
23 can make is that at the temperatures of around 100°C--you'll
24 notice I'm not concentrating on the region right around the

1 repository horizon which is predominated by quartz and feld-
2 spar and cristobalite. So, I'm down and worrying about
3 temperatures around 100°C. It appears that very long times
4 will be required to transform the clinoptilolite or the
5 smectites to other less sorptive phases.

6 However, the volcanic glass which is much more
7 reactive can transform to zeolites and/or smectite at temper-
8 atures as low as 40°C in the presence of water. That's an
9 important caveat. Again, increasing temperature will improve
10 our ability to predict these reactions because of the kinetic
11 problems at lower temperatures. I don't think that the
12 magnitude of the increase is going to improve our ability to
13 predict by a lot because if we go from 80 to 100 or 120°C,
14 we're still in the temperature regime where the kinetics are
15 very slow. And, obviously, some of the thermal reactions,
16 for example, glass to zeolite or smectite, may be beneficial,
17 although they'll obviously, as Tom emphasized, cause a modi-
18 fication of flow paths and change of permeability if, for
19 example, we react nonwelded vitric tuff to zeolite.

20 Now, addressing some of the things we talked about
21 earlier, it's difficult to say definitively how all of these
22 things tie together, but I think it's safe to say based on
23 our analysis that benefits to lower thermal loading, namely a
24 smaller rock volume affected and a lower intensity of altera-

1 tion, the overall temperatures are lower, probably outweigh
2 those of the higher thermal loading. There's a larger rock
3 volume dried which is a benefit, but the temperatures are
4 higher, we extend farther into zeolitic tuffs, and so on.

5 The potential mineralogical problems associated
6 with the higher loading, namely that we may extend the higher
7 temperature zone to the zeolitic tuff, are probably greater
8 than those associated with lower thermal loading which might
9 involve not drying the rock as much. There are a lot of
10 uncertainties, as Brian emphasized. Whenever you're talking
11 about geo, well, I don't have geo-mineral, but we have that
12 in this. We really need to know a lot more about the time/
13 temperature saturation curves that we expect in a repository
14 environment and that's the crucial unknown in predicting many
15 of these reactions because they're so tightly linked to both
16 temperature and saturation conditions. And, in addition with
17 all of these reactions that occur in the temperature range
18 below 200°C, the kinetics of the reactions are a tremendous
19 problem.

20 We can resolve many of these uncertainties at least
21 sufficiently, I think, using experimental data and there are
22 and have been in the past ongoing experiments evaluating the
23 kinetics or attempting to evaluate the kinetics of these
24 reactions. It's difficult. I think we've made an effective

1 use already of natural analog and field data. I think that
2 may be one of the areas where we can get some good informa-
3 tion because we then have the long times required. We
4 definitely need to consider these mineralogic reactions in
5 geochemical and hydrologic models because all of the
6 processes that we're worried about are coupled.

7 So, in a nutshell, I believe that changing the
8 thermal load whether we go from 20kW/acre, say, to 100kW/acre
9 will only modify the extent of the mineralogic reactions.
10 Because of the distribution of phases susceptible to altera-
11 tion at Yucca Mountain, I think we will not ever eliminate
12 these reactions. I think that's a given. There are phases
13 susceptible to alteration very close to the repository level.
14 And, just to emphasize one more time that understanding the
15 thermal effects relating to mineralogy will require some
16 additional experimental data and coupled models.

17 DR. DOMENICO: David, both smectite and zeolites will
18 probably undergo reversible dehydration above the boiling
19 point of water and you say the smectite occurs in the frac-
20 tures in the Topopah. Has anybody given any thought to just
21 volume-wise how much water would be potentially generated
22 with that reversible dehydration of those minerals? Do they
23 constitute a significant portion of the rock?

24 DR. BISH: That's a good question, but you have to

1 remember that as we--smectite doesn't dehydrate just like
2 that as you reach the boiling point. There's an equilibrium
3 between the water in the gas phase around the smectite and
4 the water in the smectite.

5 DR. DOMENICO: But, it will break down over the time
6 span we're talking about.

7 DR. BISH: Yeah, well, it will--you will evolve water,
8 true.

9 DR. DOMENICO: Yes.

10 DR. BISH: But, the partial pressure of water, say, in
11 the steam atmosphere above 97°C is going to be--it's not
12 going to be zero. So that we need to be able to predict
13 that. We need to know exactly what the partial pressure of
14 water is at those temperatures and do some experiments. But,
15 my suspicion is in the Topopah Spring member where the
16 amounts of smectite are very low, on the order of a couple
17 percent, that that amount of water would not be significant.

18 DR. DOMENICO: How about the zeolites? They're a bigger
19 percentage of the rock. Do they occur in the fractures or do
20 they occur disseminated through the matrix?

21 DR. BISH: They occur in minor amounts in fractures
22 throughout Yucca Mountain, but very minor amounts. It's
23 difficult to find very many zeolites above the massive zones.
24 As many of Tom's calculations showed, the state of

1 saturation will be high enough in the zeolitic tuffs that you
2 will probably--this is what I meant by the importance of
3 coupled models. You will change the state of saturation of a
4 zeolite as you change the temperature, but they're in
5 relatively highly saturated rocks, 80 or 90% saturated, where
6 the activity of water is essentially 1. So, I don't think
7 that because of their distance away from the heat source at
8 the northern most point, almost 100 meters, I don't think the
9 saturation will be low enough and the temperature will be
10 high enough to make them an important contributor.

11 DR. LANGMUIR: Dave, you've done some work on the rever-
12 sibility of heating and cooling of the sorption properties of
13 the zeolites and smectite. But, realistically, if we're
14 looking at repository temperatures that are elevated for
15 hundreds of years, do we really know that the sorption
16 properties are reversible for these solids?

17 DR. BISH: No, we don't. Just to give you an example.
18 Previous to some work that we had done, it was assumed that
19 clinoptilolite was insensitive to heating to about 550°C and,
20 in fact, you essentially had to go to about 900°C to break
21 down the structure. We've done some experiments dry now--and
22 there's a big difference between dry and the conditions we
23 expect at Yucca Mountain--at 200°C for two years and we've
24 seen significant mineralogic reactions. This is that col-

1 lapse that I referred to for the 200°C clinoptilolite sample.
2 So, we're already getting into areas where we're finding new
3 things that if you'd discussed them two years ago or five
4 years ago people would have said nothing would happen. So,
5 clearly, that's the big problem when you try to predict what
6 happens at 100 or 200°C to minerals. We can't adequately
7 address those questions in our lifetime. And, the kinetics
8 people will say, well, let's go up to 400°C, but the mech-
9 anisms are likely to change so much that the results may not
10 be at all applicable.

11 DR. DEERE: Were you going to discuss the last--

12 DR. BISH: I left that last slide in there just as an
13 example of some mineralogic data in case some questions came
14 up, but that's just for your reference. I don't need to
15 discuss that.

16 DR. DEERE: Was some of this obtained from the drill
17 cores that--

18 DR. BISH: Those are data from drill hole G-2 with
19 mineralogic data on the right of the figure and illite/
20 smectite data as a function of depth on the left.

21 DR. DEERE: I think you presented this to us in--

22 DR. BISH: I did in Reno.

23 DR. DEERE: And, I found it very interesting.

24 DR. BISH: Well, thanks.

1 DR. NORTH: Any other questions, comments?

2 (No response.)

3 DR. NORTH: Okay. Then, do we want to go on? We'll get
4 in one more talk before lunch and we'll plan on breaking at
5 12:30.

6 MR. CLONINGER: --discuss waste form degradation and
7 materials uncertainties. Those materials being waste package
8 and other repository materials.

9 DR. GDOWSKI: Okay. Just a brief outline of the presen-
10 tation. I have an introduction which for the purposes of
11 this presentation will define three temperature regions.
12 Also, I'll briefly discuss the functions of the various com-
13 ponents of the waste package for the SCP conceptual design
14 and we'll talk about thermal effects on container materials,
15 specifically limiting the discussion to metallic alloys.
16 Then, we'll talk about thermal effects on the waste form. We
17 have two waste forms; the spent fuel which consists of the
18 zircaloy cladding and the fuel pellets, and borosilicate
19 glass is the other waste form which consists of a pour canis-
20 ter and the borosilicate glass. And, finally, to summarize.
21 Okay. For the purposes of this presentation, we
22 have defined three temperature regions; high temperature
23 region and the boiling region and the below boiling region.
24 The high temperature region, the lower temperature limit is

1 material dependent and is characterized by microstructural
2 changes which can result in chemical and mechanical degrada-
3 tion of the materials. And, this region is also character-
4 ized by accelerated oxidation.

5 And, we have the above boiling region. This is
6 dominated by gas phase phenomena. That is we don't have
7 aqueous phase degradation occurring on the materials. The
8 lower temperature limit definition is complicated by the
9 presence of hygroscopic salts, pores, and crevices. And,
10 this temperature limit will be above the unconstrained boil-
11 ing point of water.

12 Then, we have the below boiling region which is
13 dominated by aqueous phase phenomena. This could either be
14 caused by high humidity or liquid water. Again, the tempera-
15 ture definition is complicated by the presence of salts,
16 pores, and crevices.

17 DR. LANGMUIR: Greg, is the oxidation accelerated in the
18 absence of water?

19 DR. GDOWSKI: Sure. Well, if you have oxygen there--

20 DR. LANGMUIR: But, you've got to have some--okay.

21 DR. GDOWSKI: Oxygen or water will oxidize materials.

22 DR. LANGMUIR: But, the continuation of the process may
23 just armor it and stop, right?

24 DR. GDOWSKI: Excuse me?

1 DR. LANGMUIR: You might just armor the surface with an
2 oxide and stop?

3 DR. GDOWSKI: You might, but at higher temperatures what
4 happens is the film is a known protective and you can
5 increase the oxidation rate after it becomes linear with
6 time. This is at very high temperatures.

7 DR. REITER: High temperature, is it well above boiling?

8 DR. GDOWSKI: Well above boiling, yes.

9 DR. REITER: Can you give us an idea of what kind of
10 temperatures--

11 DR. GDOWSKI: 350 to 500°C. It's very material depen-
12 dent.

13 DR. VERINK: That range is well above what's anticipated
14 then. Is that right?

15 DR. GDOWSKI: Yes. Yes. I'm just using this for a
16 reference.

17 Okay. To briefly review the functions of the
18 various components of the SCP conceptual design waste package
19 for the spent fuel, initially the waste container functions
20 to keep both air and water away from the spent fuel. Upon
21 failure of the waste container, we would have Carbon-14
22 released from the fuel cladding. Initial studies indicate
23 that the amount of Carbon-14 contained on the cladding is
24 about 2% of the total inventory.

1 Then, the fuel cladding function is to keep air and
2 water away from the fuel pellets. Upon failure of the
3 cladding, we have release of the gap radionuclides and we
4 also have degradation of the waste form.

5 For the borosilicate glass case, the waste con-
6 tainer functions to keep air and water away from the glass.
7 Upon failure of the waste container, the pour canister then
8 functions to keep moisture away from the waste form. Upon
9 failure of the pour canister, the borosilicate glass can then
10 degrade.

11 Okay. Now, first, I'm going to talk about the
12 temperature regions for the waste container's materials.
13 And, what I've done here is I've just listed the possible
14 degradation phenomena and concerns in the different tempera-
15 ture regions. This is the high temperature region, this is
16 the above boiling region, and the below boiling region.
17 First, I'm going to discuss the high temperature region.

18 In the high temperature region, this is charac-
19 terized by phenomena which occur at elevated temperatures
20 over typically short periods of times like years, minutes.
21 And, the lower temperature limit in these cases are about 350
22 to 500°C. The concerns or considerations in this temperature
23 range are the precipitation of carbides and intermetallics in
24 such materials as stainless steels and nickel chrome--alloys.

1 You can have graphitization of cast iron. The internal
2 oxidation of titanium occurs at temperatures of about 350°C.
3 And, we also have accelerated oxidation in this region.
4 Potential problems are all these considerations. Potential
5 benefits of being in this region, I can see none.

6 Now, to discuss the above boiling region. The
7 environment expected is a dry steam/air mixture with possible
8 radiolysis products. Now, this will depend if we go to a
9 self-shielded container or not. The considerations here are
10 long-term aging, general corrosion, and episodic water con-
11 tact. The reference water contains both carbonates and
12 silica which will form scales when they come into contact
13 with materials. We also have the problem that we may form
14 halite salt deposits on these surfaces.

15 Potential problems are the microstructural changes
16 which may be due to the long-term aging. That is these
17 phenomena that we normally associate with the high tempera-
18 ture region may occur in this temperature region after long
19 time aging. Another problem that could happen is the mineral
20 deposition due to episodic water contact. That is we could
21 form a porous scale on top of the metal which could be sites
22 available for localized corrosion. Another concern that we
23 have is the salt deposits on the surface. If water comes
24 into contact at some later time and doesn't evaporate, that

1 can also be sites for localized corrosion. And, finally, we
2 can have enhanced corrosion because of radiolysis products.

3 Possible benefits of being in this region are the
4 growth of protective oxide layers which would enhance the
5 corrosion resistance of these materials when we go into this
6 low temperature region for aqueous phase degradation. And,
7 another benefit may be the annealing of residual stress in
8 this temperature range. Another possible benefit may be
9 modeling. If all we have is general oxidation, there are
10 existing models which we could probably extend for our pur-
11 poses.

12 In the below boiling region, the expected environ-
13 ment is humid air/liquid water with possible radiolysis
14 products. There are numerous considerations, general cor-
15 rosion, localized corrosion which is pitting and crevice
16 corrosion, halite-induced stress corrosion cracking, micro-
17 biological corrosion, hydrogen effects, and mineral deposi-
18 tion due to water contact.

19 Potential problems are all these considerations.
20 Modeling is also a problem. Right now, we don't have very
21 good models to predict phenomena such as localized corrosion
22 for corrosion resistant materials and there's also the prob-
23 lem with microbiological corrosion. Another problem may be
24 the enhanced corrosion because of radiolysis products.

1 Potential benefits, we may have a favorable water/
2 material interaction. The water may remain benign and not
3 corrode the materials.

4 DR. LANGMUIR: Greg, that's only going to be true with a
5 metal which won't oxidize, right, because you're going to
6 have oxidizing conditions in your water.

7 DR. GDOWSKI: I'm sorry.

8 DR. LANGMUIR: Presumably, with water in contact with
9 the waste in the unsaturated zone, it's an oxidized system.

10 DR. GDOWSKI: Yes.

11 DR. LANGMUIR: So, to the extent that metals are going
12 to oxidized, it's not favorable unless you've got a--

13 DR. GDOWSKI: Well, if you form--at these temperatures,
14 the oxide layer probably won't grow very much under these
15 conditions. By favorable, I mean we won't get halite ion
16 concentration in the solution which would cause localized
17 corrosion.

18 DR. LANGMUIR: But, if we go through a heating/cooling
19 cycle and we cycle saline fluids back, we're going to have
20 high chlorides in them when we get there.

21 DR. GDOWSKI: It is--yes, yes. Right, right. And,
22 that's why I listed it under potential problems also. It
23 could go either way.

24 Okay. Next, I'll discuss the temperature regions

1 for the zircaloy cladding. Again, I've listed the possible
2 degradation phenomena and concerns for the three temperature
3 regions.

4 The high temperature region, we have a better
5 definition of the lower temperature limit. That's 350°C. If
6 there's no container failure, we have an inert atmosphere.
7 If the container does fail, we have a dry steam/air mixture
8 with possible radiolysis effects. The considerations in this
9 temperature region are the creep/stress rupture of the clad-
10 ding due to the high internal gas pressures in the cladding
11 due to both the initial pressure in the cladding and also due
12 to the gas pressure generated by the fission gases. Acceler-
13 ated oxidation which would result in a porous non-protective
14 oxide layer on this material occurs at temperatures beginning
15 at about 540°C. And, you can also get internal oxidation of
16 zirconium alloys at temperatures of 700°C.

17 The potential problems are the creep/stress rupture
18 of the cladding and the loss of its function as a barrier to
19 the oxidation of the fuel.

20 Potential benefits of being in this region, there
21 are none.

22 In the above boiling region, container intact, we
23 have an inert atmosphere; container failure, a dry steam/air
24 mixture with possible radiolysis effects. The considerations

1 in this temperature region are general corrosion, episodic
2 water contact resulting in mineral deposition, long-term
3 aging, and radiolysis effects. I also forgot to mention that
4 hydrogen is also a concern in this region. It's hydrogen
5 that's introduced into the cladding during the oxidation and
6 the reactor. And, if this hydrogen precipitates, it could
7 destroy the cladding.

8 Potential problems are all these considerations
9 and, in addition, the Carbon-14 release.

10 Potential benefits is that in part of this tempera-
11 ture region we may be above the hydride precipitation temper-
12 ature. Also, annealing in this temperature region may
13 relieve some of the radiation hardening of the cladding.
14 And, we can also get protective oxide layer growth and also a
15 benefit may be modeling if all we have is the general oxida-
16 tion of the zircaloy cladding.

17 The below boiling region, again if the container
18 doesn't fail, the atmosphere is inert; if the container does
19 fail, it would be humid air/liquid water with possible radio-
20 lysis effects. The considerations are the same as for any
21 other metallic material; localized corrosion, general cor-
22 rosion, halite-induced stress corrosion cracking, hydrogen
23 effects, microbiological corrosion, and mineral deposition.

24 Potential problems are all these considerations.

1 Another problem is modeling of these processes in this low
2 temperature region. Again, there are very few models that
3 predict localized corrosion for these corrosion resistant
4 materials.

5 A potential benefit may be a favorable water/
6 zircaloy interaction.

7 Okay. Fuel pellet degradation, I've combined both
8 the above boiling and high temperature regions. If there is
9 no container failure or cladding failure, we have an inert
10 atmosphere. If both the container and cladding fail, it's a
11 dry steam/air mixture with possible radiolysis effects. The
12 considerations are the oxidation of the fuel pellets. At
13 temperatures above 250°C, preliminary studies indicate that
14 the fuel pellets are oxidized rapidly to U_3O_8/UO_3 and what
15 happens is that this disintegrates the pellets into a powder
16 form exposing all the grain boundaries. At temperatures
17 below 250°C, the pellets are oxidized to $UO_{2.4}$ and fragments
18 remain intact. I should explain that the pellets themselves
19 are degraded in the reactor into fragments during the power
20 cycle. So, these fragments that I'm referring to are those
21 fragments that come out of the reactors.

22 The potential problems are the oxidation of the
23 fuel pellets and the release of volatile radionuclides.

24 Potential benefits of being in this region are that

1 we have no dissolution since there's no water and also no
2 oxidation if there's no container failure or cladding fail-
3 ure.

4 In the below boiling region, the atmosphere is
5 inert if there is no container or cladding failure. If the
6 container and cladding fail, we have a humid air/liquid water
7 with possible radiolysis effects. Considerations in this
8 region are the oxidation response and the fuel dissolution.

9 Potential problems are fuel dissolution. If the
10 fragments have not been oxidized and remain as UO_2 , we have
11 fragment dissolution. But, if the fragments have been oxi-
12 dized to $\text{U}_3\text{O}_8/\text{UO}_3$, we then have to consider powder dissolu-
13 tion.

14 Potential benefits may be a favorable water/fuel
15 pellet interaction. That is the fuel pellets are not readily
16 dissolved. Benefits may be the low oxidation rates in this
17 temperature region. The oxidation of the UO_2 has a very
18 strong--dependence with an activation energy of about 27k
19 cal/mol. Another benefit may be that there's no oxidation
20 or dissolution if the container and the cladding don't fail.

21 And, finally, the borosilicate glass. Again, I've
22 combined the above boiling and high temperature regions. If
23 there's no container/canister failure, we have an inert
24 atmosphere. If the container and the canister fail, there's

1 a dry stream/air mixture with possible radiolysis effects.
2 The considerations are devitrification of the glass above
3 500-600°C. This is not really a problem. Under none of the
4 thermal scenarios does the glass ever reach these tempera-
5 tures. Another consideration is hydration of the glass.

6 The potential problems are the hydration of the
7 glass with the subsequent availability of the radionuclides
8 for dissolution.

9 Potential benefits may be that the hydration rates
10 are low in low relative humidity air. Under the unsaturated
11 conditions, relative humidities are expected to be below 50%
12 and temperatures above 120°C. Another potential benefit may
13 be no dissolution since there's no liquid water. When a
14 glass hydrates, it also may form secondary mineral precipi-
15 tates on top of it which will slow the radionuclide release.
16 And, finally, if the containers don't fail, we have no
17 hydration.

18 Then, the below boiling region. If the container
19 and canister don't fail, it's an inert atmosphere. However,
20 if the container/ canister fail, it's a humid air/liquid
21 water with possible radiolysis effects. The considerations
22 are the hydration of the glass and glass dissolution.

23 The potential problems are radioactive release
24 associated with glass dissolution and hydration of the glass.

1 Potential benefits of being in this region are that
2 the glass very slowly hydrates in this temperature region and
3 we also may have favorable water/glass interactions. Silica
4 in solution is known to impede the dissolution of the glass.

5 And then, finally, just to briefly summarize.
6 Based on previous experiments and preliminary results or
7 testing, certain temperature regions appear to offer advan-
8 tages over other temperature regions for the various waste
9 package components when they are considered independently.

10 For the container materials and the zircaloy
11 cladding, this region is the above boiling region. For the
12 UO_2 fuel pellets, it's below boiling region just because of
13 the very low oxidation rates that will occur there. And, for
14 the borosilicate glass, the below boiling region is because
15 of the very low hydration rates there. Now, this one could
16 also be above boiling since hydration rates would be very
17 slow in low relative humidity air.

18 And, finally, testing will be necessary to deter-
19 mine whether the degradation modes exist under repository
20 relevant conditions, and if they exist, to determine their
21 significance.

22 DR. NORTH: Questions? Ellis?

23 DR. VERINK: It would appear that your summary argues
24 pretty strongly for a robust extended life container. Is

1 that a correct presumption?

2 DR. GDOWSKI: Yes. If you want to protect the fuel from
3 oxidizing or dissolving, yes.

4 DR. VERINK: And, you would like to do that, correct?

5 DR. GDOWSKI: Yes.

6 DR. VERINK: Does it make any additional warm, comfort-
7 able feelings to think in terms of a thicker rather than
8 thinner container as a result?

9 DR. GDOWSKI: I would have to say that would depend a
10 lot on the water/material interactions. I would think that
11 you would probably want to eliminate some of the radiolysis
12 effects which a thicker container would give you the added
13 benefit of, yes.

14 MR. CLONINGER: Ellis, one thing that has come out of
15 this as a suggestion is that for the thermal period we have a
16 corrosion resistant shell to handle the highly oxidizing
17 causations during the high temperature pulse and within that
18 a thicker corrosion allowance material. It would also pro-
19 vide shielding--

20 DR. VERINK: I'm having an awful time hearing you.

21 MR. CLONINGER: Okay. I'll speak up a little bit here.
22 This microphone isn't picking me up too well. I'll start
23 over.

24 Some suggestions out of this work have indicated

1 that for the high thermal pulse period, we have a corrosion
2 resistant thin wall of material to account for the highly
3 oxidizing conditions, steam/air mixture, during the early
4 thermal period. And, within that, a thicker corrosional
5 allowance material that will also provide shielding and whose
6 aqueous corrosion products would also provide a sorption
7 barrier and possibly even a filter for some of the partic-
8 ulate materials that may form.

9 DR. NORTH: Further questions?

10 (No response.)

11 DR. NORTH: I have one announcement I'd like to make
12 before we break for lunch. Attendees for this meeting need
13 to sign in not just the first day, but every day. As I
14 understand, we need to have this information not only for the
15 Board, but also for the hotel. And, the consequences are
16 that if you don't sign in every day, we run out of coffee
17 cups and our chairman has to drink from a glass. So, please,
18 sign in every day.

19 Okay. We're adjourned for lunch now for an hour
20 and 10 minutes.

21 (Whereupon, a luncheon recess was taken.)

22

23

24

1
2
3
4
5
6
7
8
9
10
11
12
13
14

15 A F T E R N O O N S E S S I O N

16 DR. NORTH: Let's reconvene to finish up the morning
17 session. We have one remaining speaker, Dr. Kent Ostler.
18 After we finish that, Dr. Dennis Price will open the after-
19 noon session.

20 Dr. Ostler, would you like to go ahead, please?

21 DR. OSTLER: Yes.

22 I'd like to this afternoon, take some time and talk
23 about the biological resource concerns that we have with
24 thermal loading.

1 Just an outline of the presentation, first I would
2 like to delineate the impact; talk about the significance of
3 that impact, briefly mention what we know about the sig-
4 nificance of that; talk about some of the uncertainties
5 involved; then provide some resolutions, ways that can resol-
6 ve some of those uncertainties; discuss briefly some of the
7 residual uncertainties; and, then have a final conclusions.

8 The viewgraph shows the anticipated impacts.
9 Again, these are taken from the model developed by Eric
10 Ryder. The maximum temperatures are expected to be less than
11 6°C, again the most probable increase then would be closer to
12 1.0 - 1.5°C. The area impact on the surface is going to be
13 over 2.3 - 3.0 square mile area. We are going to see a
14 temperature increase that begins about a thousand years after
15 initial emplacement that will reach peak temperatures some-
16 where between 2,000 and 3,000 years and then will decline
17 after that.

18 What is the significance then of that thermal
19 loading on the biological resources? I think that is really
20 going to depend upon the actual temperature increase at the
21 surface. At less than 2°C, I think we are going to see
22 minimal impact and I'll discuss reasons for that later on.
23 Between 2 and 6°C, I think you may see moderate to larger
24 impacts.

25 Areas that we anticipate being changed, being

1 impacted by the thermal loading, these are the three main
2 ones: altered water mass balance; altered timing of the
3 biological processes; and, de-stabilization of the system.
4 Certainly, there may be others, but these are the ones that I
5 will cover today.

6 The altered water mass balance, we know with in-
7 crease thermal loading, we are going to see increased evapor-
8 ation at the surface. We are also going to see increased
9 transpiration. As the plants try to cool themselves, they
10 will be using additional water. What this does is take away
11 then available water for other biological processes.

12 Since water is a key limiting factor in biological
13 resources at Yucca Mountain, we will see probably a shifting
14 of the growing season, or shortening of the growing season at
15 the site.

16 Another impact again would be the altered timing of
17 the biological processes. Many species use environmental
18 cues to initiate certain phases in their life cycle. Many
19 species use soil temperatures in order to activate particular
20 activities. Example of this would be seeds. Many plant
21 species out there, the seed germinates at a particular tempe-
22 rature. If you alter that temperature artificially then you
23 are going to create kind of an asynchrony. The seed will
24 germinate before actual air temperatures may be suitable for
25 survival of the seedlings.

1 A second example would be any of the species which
2 hibernate, the desert tortoise and other small mammals on the
3 site, use borough temperature as a mechanism to emerge from
4 hibernation. So, if you alter that temperature artificially
5 increase it 2°C, you are going to have them emerging from
6 hibernation earlier than usual.

7 The limited data that we do have at Yucca Mountain
8 shows that in the early spring months, that soil temperatures
9 at 45 centimeters increase about 2 degrees every month. So,
10 by increasing the thermal loading and increasing then the
11 surface temperature by 2 degrees, you may see a shifting then
12 of emergence for example of a small rodent by a month period.

13 That might not seem like much and may not be very
14 significant for many species. But, for example, if the plant
15 is dependent upon pollination from a migrating pollinator,
16 and if it is a month off cycle, it may not be pollinated at
17 all.

18 If you look also at increases of 4 to 6°C and a
19 species that then emerges from hibernation, not in March or
20 April, but is coming out in January, it may be a very sig-
21 nificant impact on that species.

22 Also, along that line there may be insufficient
23 time to complete life processes. Now, as you shorten the
24 growing period, as you remove water from the system, you may
25 reduce the amount of biomass that is able to be fixed. As

1 you shift the growing season more towards the winter months
2 where light levels are lower, there may be less fixing of
3 nutrients, and thus there may be less biomass for animals as
4 well who rely on those resources.

5 Finally, this may cause a de-stabilization of the
6 system. Yucca Mountain is a very harsh environment. It is
7 in the transition zone between the Mohave Desert and the
8 Great Basin Desert. And many of the species that occur
9 within this transition are very close to their threshold
10 limits. As we artificially modify those environmental param-
11 eters, we may very easily go over the threshold limit and go
12 over the limiting factors that control distribution of those
13 species.

14 Let me just give you one quick example. The last
15 three years of drought that we have had at Yucca Mountain
16 have essentially taken the dominant grass species out of the
17 Larrea-Ambrosia association which is one of the very lowest
18 ones out there and I will show you a little more about that
19 later. Essentially, we have lost all of those two grass
20 species from those two environments. What that will do on
21 the total system is something that I will probably address in
22 one of the uncertainties.

23 Also, we may see an enhancement of other
24 detrimental processes to the system, such as an enhanced
25 decomposition of organic matter. Organic matter is very

1 important in these desert soils. It provides water holding
2 capacity, and also creates an area of active nutrient
3 exchange. Organic matter is generally very low in these
4 soils, so it does play a very important role, and, as that
5 is lost, then, it is of significant impact of the system.

6 We may also enhance soil pathogens or other soil
7 pests if for example winter temperatures don't get low enough
8 to kill these organisms in the soil.

9 What do we know about the significance of thermal
10 loading on these biological resources? I think to answer
11 that question, we need to look at the variability that exists
12 within those systems. Look again at the current environment
13 and from a regional basis, we can look at some of the season
14 variability and how that compares with what is anticipated in
15 the repository.

16 Fortunately, on a regional basis, there have been
17 studies that have looked at soil temperatures and impacts on
18 the system. There is an example of work done by O'Farrell up
19 at Hanford. He's got data for soil temperature data, three
20 depths for six different years. When you take a look at the
21 variability within just any one year, we have a wide range of
22 temperature there. Also, one of the important things from
23 this is that in 1969 the low winter temperature there, and
24 those temperatures caused a delay in the emergence of the
25 pocket mice, *Perognathus* of four weeks. That was essentially

1 a four centimeter decline in soil temperature.

2 We have some very limited site-specific data. I
3 think that is one of the areas that we really need to get
4 more information in. Over the past year, we have been
5 gathering this information as part of our terrestrial ecosys-
6 tems monitoring. This is to show you the vegetation associa-
7 tions that existed at Yucca Mountain, there are four of them:
8 Larrea-Ambrosia, Larrea-Lyceum-Grayia, Coleogyne, Lyceum-
9 Grayia. These are generally on almost a south to north
10 gradient, and also an elevational gradient, too, with the
11 higher elevations being over in the Coleogyne and Lyceum
12 areas.

13 Three important things to get from this table is
14 the variability that exists between the four different as-
15 sociations. I can see an increase of about 1.5°C between
16 those, January and even more in the August temperatures.
17 The second point, I think, is to look at the range of temper-
18 atures within these areas. Again, these represent 12 dif-
19 ferent study areas within each one of those vegetation as-
20 sociations. The range then, naturally, we see it to be
21 between two to four percent in the case of the Lyceum-Grayia
22 for January temperatures and about two to three degrees for
23 the August temperatures.

24 Finally, we can compare difference between years;
25 September of '90 versus September of '91 temperatures. You

1 can see that the temperatures have dropped anywhere from one
2 to two and a half centigrade in 1991. So, that gives you an
3 idea.

4 The natural variability within the system then, is
5 anywhere from one to two degrees. And you can get that two
6 degrees change and really not be out of the same vegetation
7 association. Those species will still remain present in
8 there. Now, there may be different factors going on there,
9 biomass may be different or total number of species may be
10 different in those systems.

11 One of the other things that we can use as a com-
12 parison then to look at the impact, and that is to look at
13 natural analogs or geothermal areas. Unfortunately, no one
14 has done any extensive studies on those that occur in the
15 desert area. I do have information on a geothermal area from
16 Yellowstone National Park region, again reported by White in
17 1978. He looked at three different zones and those were
18 based on the appearance of Lodgepole Pine in those three
19 areas with normal Lodgepole Pine growth. He then went and
20 sampled and got near surface heat flow within that range.
21 Again, as Tom pointed out in an earlier presentation that we
22 anticipate that we are going to be about 1.5, so even less
23 than his lowest there.

24 In the mix zone where you did see some stunting
25 mixed with normal trees, those were your heat levels. And

1 then where all the trees was stunted was over 20.9.

2 He did make one important point though, and that is
3 the actual upper limit of tolerance of the species is not so
4 much set on the heat flow as it is by the seasonal, maximum
5 soil temperature. At Yucca Mountain, we are already at very
6 high soil temperatures during the season, so additional
7 increases may be more important in a Yucca Mountain situation
8 than in this case.

9 We also looked at the literature, ran a literature
10 search for soil temperature, soil moisture, and then the
11 interaction between those. There are really numerous studies
12 out there that have addressed these topics. They are primar-
13 ily in the agricultural/horticultural field, but I think they
14 supply us with very good information on the biological proce-
15 sses that we can expect to see change, although, we really
16 don't have any site-specific information for the species at
17 Yucca Mountain. Again, I think that is one of the major
18 uncertainties in our state of analogy that we do have very
19 limited site-specific information on the impacts of those
20 changes.

21 The other uncertainties, I think, can be broken up
22 in species processes and then system processes. I think the
23 uncertainties lie in what the change of magnitude of the
24 change in the phenology or the activity periods; what is
25 going to be the magnitude in the biomass production or the

1 available food resource that is there; and then, what impact
2 will it have on the available water. We really can't answer
3 those at this time. I think we know the direction that they
4 are going, but we don't have accurate figures on what that
5 change will be.

6 Then further looking at the ecosystem processes, we
7 don't know what the loss of a species or several species from
8 an ecosystem will be; what will be the interaction of the
9 species that remain; and, then the impact on the trophic
10 levels, as well.

11 So the resolution of those uncertainties then, I
12 think that many of them can be resolved by measuring existing
13 ecosystems along latitudinal/elevational gradients will
14 supply us with some of those answers. We can also go in and
15 measure local/regional geothermal areas. There are geother-
16 mal areas in the Mohave Desert. They just have not been
17 studied extensively and I think we can go look at those
18 natural analogs.

19 We may also need to conduct greenhouse studies or
20 small field trials to look at some specific information for
21 the species at Yucca Mountain. And then finally, we can
22 develop models or improve existing models.

23 There will be, however, I think some residual
24 uncertainties even after completing those studies. Most of
25 those will deal with secondary impacts, the indirect impacts

1 to other trophic levels in the system, and the problems with
2 looking at effects on a large scale that are really not
3 detectable from small scale studies.

4 Secondly, the evolutionary scale effects, you know
5 we will have an area out there of approximately three square
6 miles that may be isolated genetically from the surrounding
7 areas as far as gene flow and what that will do to genetic
8 drift, we won't be able to answer.

9 Then finally, climate change, we don't know what
10 the climate will be when or if the repository is built or
11 when we are actually anticipating these changes.

12 In the conclusions then, we believe that high
13 thermal loading will have an impact on the biological resour-
14 ces. The significance of that impact obviously is going to
15 be dependent on the actual level of increase of the soil
16 temperature. At surface temperatures of 1 - 1.5 °C that are
17 gradually increasing over a 1,000 year period, I think are
18 going to create very minimal impacts. What I anticipate
19 seeing would be a gradual shift or the greatest I guess
20 would be a shift from a vegetation association that is more
21 common in the Great Basin Desert such as a Coleogyne shifted
22 towards a vegetation association that is more common in the
23 Mohave Desert, such as the Larrea-Ambrosia.

24 With high thermal loading, I think we are going to
25 see losses of some species from that immediate three square

1 mile area. But, I think the biological system itself is
2 going to have the ability to change and adapt to that system.
3 So, as I mentioned before, we are going to see a change in
4 what existed, what was there prior to the high thermal load-
5 ing. But, I think it won't be an area devoid of vegetation
6 or animal.

7 Certainly there are uncertainties that exist in the
8 level of change and the impact on the civic/biological resou-
9 rces and many of those uncertainties can be resolved through
10 a research program, but there will be some uncertainties that
11 will still exist.

12 DR. NORTH: Any questions? John?

13 DR. CANTLON: John Cantlon.

14 I think it is important to emphasize that looking
15 at the local effects on this three square mile area is a very
16 different question than the biological vulnerability of any
17 of the species populations or any of the vegetation for
18 ecosystem types there. I think you made that point and I
19 think that is one that is critical. However, when you get
20 to the licensing question, it will be important that you not
21 get caught up in saying just because a species population
22 isn't at risk, you are not going to see change. And I think
23 you didn't make that observation.

24 As one looks at the changes at the local site, one
25 of the issues that you didn't discuss, I'd like to have you

1 reflect on. Many of those species are rooted in fracture
2 zones; many of them, the herbs and the shrubs both. The
3 unique behavior of those fracture zones particularly the
4 rhizalsphere, the mycorrhizal relationships, the bacterial
5 relationships, must be looked at if you are going to really
6 estimate what is going to happen.

7 DR. OSTLER: I agree. Many of the species, we are
8 finding out more and more are really dependent upon those
9 mycorrhizae. I think they do play a key role. There is some
10 information in the literature on the effects of temperature
11 on mycorrhizae.

12 DR. CANTLON: They are very sensitive.

13 DR. OSTLER: I think you are right. They are very
14 sensitive.

15 DR. CANTLON: And the rhizalspheric relationship also is
16 extremely temperature sensitive. The interesting thing about
17 this is that in these generally basic soil environments, in
18 those fissures where you get high organic matter and decom-
19 position, you shift the soil medium to a more acid and a much
20 more nutrient mobile situation, which is a very different
21 nutrient medium than out in the desert floor where you don't
22 have that kind of a unique environment.

23 The sensitivity of that little three square mile
24 area is going to be keyed into some very, very tiny fraction
25 of the total area of the system, and it would be interesting

1 to look at what the thermal pulses are going to do in those
2 fissures. Also, the Carbon 14 pulses that get released. It
3 would be interesting to have some experimental data as to
4 what the impacts of those things will have on that system.

5 But, again, I would stress you are not talking
6 about risk to species populations or to vegetation types or
7 ecosystems, you are simply trying to document in Court what
8 is going to happen on top of Yucca Mountain, and you had
9 better have that down in very solid facts I think as you get
10 into the issue.

11 As far as analogs in looking at some of the Hot
12 Spring action, the typical situation at Hot Springs is that
13 you have a chemically altered soil, so it is a very atypical
14 soil. It is shifted again in the direction of lower pH, and
15 there is a fair amount of studies that Billings' has done a
16 full series of studies in the Great Basin on those altered
17 sites. So, be very careful that you are not attributing to
18 thermal effects what in fact probably more likely is a shift
19 in soil chemistry.

20 Would you give us a little thought about dealing
21 with the fractures? Have you thought of rooting environment?

22 DR. OSTLER: I have really not thought about it all. I
23 know that it exists, particularly the top of Yucca Mountain,
24 the soil on the surface really is very limited and most of
25 the roots go beyond on that zone into those fractures, so I

1 think they are really keen to so many of the species up
2 there.

3 DR. CANTLON: If our hydrologists and thermal response
4 people have been accurate the last day or so that the impacts
5 in these fissures high up run the movement of warm water
6 vapor up through the system, if they are correct, then the
7 impact on it is going to be much less than one might intuiti-
8 tively expect. But, it is very important that those figures
9 get very careful scrutiny and so that you can look--if you
10 are going to experimentally try to estimate what the impact
11 is going to be on those fissure rooting zones, you want to
12 have some kind of idea what sort of temperature variables to
13 work with. So, I would recommend that you take a hard look
14 at what those estimates are going to be and how solid they
15 are on their prediction.

16 DR. OSTLER: Our hydrologist wanted to comment. Tom?

17 MR. BUSCHECK: Tom Buscheck.

18 The air coming out of the fractures will be in
19 thermal equilibrium with the surface temperature. You weren-
20 't inferring that there would be any temperature difference
21 were you?

22 DR. CANTLON: Well, you've got a moisture difference if
23 you are going to drive moisture up that system.

24 MR. BUSCHECK: But as you saw earlier, hopefully the
25 conduction in the upper 250 meters of the mountain, conduc-

1 tion was dominating, so it would be impossible for air or gas
2 in the fractures to be out of equilibrium with the matrix
3 temperatures.

4 DR. NORTH: Any further comments or questions?

5 MR. JOHNSON: Cady Johnson, M&O.

6 In reviewing the biotic surveys that have been done
7 for the project, I was not able to find any type of a refere-
8 nce or inventory of the non-vascular plants, specifically the
9 mosses. And the reason I think that is interesting or it
10 would be interesting to look at those, is because at Ash
11 Meadows where you clearly do have air exhaust from the frac-
12 tures, you can feel it blowing in your face, you've got two
13 characteristics that you might use to recognize an outcrop
14 that is affected by air exhaust. One is its thermal signa-
15 ture and the other one is in association with moss. And
16 during the winter months when fractures blow the moist air,
17 there are growths of bright green moss that bloom in the
18 orifices. The thermal contrast on those outcrops between
19 fractures and matrix on the order of 10 degrees.

20 The same thing is true at Yucca Mountain and there
21 is an association with moss on those same outcrops. But,
22 there has yet been no clear demonstration that those outcrops
23 are affected by air exhaust. Now if the environmental limits
24 say on a certain type of moss were such that it would be
25 restricted to some area where you would have supplemental

1 moisture, it might be a very useful way to identify those
2 types of environments for follow up study.

3 DR. OSTLER: Good point.

4 MR. JOHNSON: The question was, whether it is within
5 your scope of work to look at the non-vascular plants?

6 DR. OSTLER: Certainly it is within the scope of work to
7 look at those, yes. We have not done that to date. Most of
8 the studies that we have been looking at so far to look at
9 the impacts of site-characterization activities, not so much
10 the impacts of a repository itself.

11 DR. NORTH: Any further questions or comments?

12 Then at this point we will bring the morning ses-
13 sion to a close, a little bit more than an hour behind sched-
14 ule and turn the meeting over to Dr. Price.

15 DR. PRICE: Welcome to the continuation of our meeting
16 on thermal loading. I am Dennis Price, Chairman of the
17 Board's Panel on Transportation and Systems. We seemed to
18 have bucked a headwind this morning as far as schedule goes.
19 And being an old pilot, I know that winds change in the
20 afternoon and maybe we'll catch a tail wind and catch up and
21 be on schedule. That is no comment on the expected headiness
22 nor cerebral level of the presentations that are forthcoming.

23 Thus far we have heard some interesting discussion
24 of uncertainties associated with alternative thermal loading
25 concepts. It is clear from these presentations that some

1 uncertainties relating to the effects to thermal loading on
2 the repository host rock will likely persist. However, if
3 the public and the technical community are to have confidence
4 in the long-term safety and performance of a repository, it
5 is essential that these uncertainties are addressed and
6 reduced to the lowest possible level. Efforts to deal with
7 these uncertainties might include cooling or aging of the
8 waste; putting less spent fuel in the canisters; changing the
9 spacing of the waste canisters within the repository. We'll
10 discuss these issues in the remainder of the afternoon.

11 We also will hear how enhancements to the current
12 repository and waste package designs such as a engineered
13 barrier system might reduce uncertainties relating to the
14 effects of thermal loading. Other considerations such as
15 those associated with repository testing, near-field environ-
16 ment testing, and waste form and materials testing, will be
17 the subjects of several of this afternoon's presentations.

18 We also look forward to hearing a presentation on
19 interim storage from the Canadian perspective. So, we have
20 a great deal of ground to cover this afternoon and I am
21 simply to going to turn the meeting over to Mike Cloninger
22 who will introduce our first speakers.

23 Mike.

24 MR. CLONINGER: Thank you. I don't see the mobile mike
25 handy, so I am going to have to shout. I have a few viewgra-

1 phs, but I think I can do it.

2 We are running way behind time. This afternoon's
3 session is implications of higher and lower thermal loading.
4 These are implications to the design and testing programs.

5 There are system-wide total waste management system
6 implications to higher and lower thermal loading within the
7 repository. In fact, the impacts go upstream through transp-
8 ortation, storage, MRS, even the operations of the reactor
9 utility companies spent fuel storage pools. The focus today
10 though is on the Mine Geologic Disposal System and the design
11 and testing implications there.

12 Focus will be on reducing uncertainties, not neces-
13 sarily on reducing thermal loading itself. As far as actual
14 programmatic decisions by the Department of Energy, these
15 will follow studies of the total system, including from
16 reactor transportation storage, transportation to repository,
17 emplacement, repository design system, system trade-off
18 studies to be done in the near future. Those are yet to
19 come. The decisions are yet to come. But, I have to remind
20 you that the current focus of the program at Yucca Mountain
21 is on site characterization, site suitability of the site as
22 it exists today to see if there are any show stoppers.

23 Originally, we had a session on waste package
24 engineered barrier design enhancements for this. It looked
25 like it would take us about a day and a half to cover that

1 subject. We did in June in conjunction with the Board have a
2 workshop in Denver on this very subject. We will in the
3 future cover this in more detail with the Board. Just let me
4 summarize that for higher waste package temperatures, higher
5 thermal loading which will occur almost without regard as to
6 how we load a repository within the reasonable future, we
7 need to look at redundant barriers during the thermal period
8 to protect these waste forms from the steam air environment
9 where the alteration rates of steam air oxidation is fairly
10 significant, regardless of waste form, spent fuel or waste
11 glass. Furthermore, that outer barrier for that period, will
12 probably be a corrosion resistant barrier, and also, must be
13 creep resistant at those higher temperatures. Soft materials
14 that will creep, deform at high temperatures wouldn't be the
15 ideal barrier during that period.

16 Lower waste package temperatures, that's in-
17 evitable. We can't change the laws of physics. This place
18 will eventually cool down whether it is Yucca Mountain or any
19 other repository, it will cool down near ambient eventually,
20 and we must design for the possibility of water. There
21 again, you design for that eventuality, that assured even-
22 tuality probably, again probably corrosion allowance materia-
23 ls and absorbent packing materials. However, if we go to
24 high thermal loadings, many of the absorbent packing materia-
25 ls that we might consider putting in originally might not

1 survive that thermal period. They may alter such that they
2 no longer provide that function. What we would be looking
3 for is something that corrodes to become an absorbent packing
4 material at some point in time.

5 A very brief summary, we can go into much greater
6 detail if you like on those aspects of waste packaging, EBS
7 design, but like I say, we tried to design a talk for that
8 and it looked like it would take a minimum of a day and a
9 half.

10 So, given that, today's program, again repository,
11 not waste package design enhancements will be presented by
12 Dr. Tom Blejwas of Sandia. He will follow that immediately
13 without break in other testing considerations that go along
14 with that design process as well as the site-characterization
15 process.

16 The near-field environment testing considerations
17 will have to do with the waste package, engineered barrier
18 system environment and its evolution with time, will be
19 presented by Dr. Wunan Lin from the Lawrence Livermore Na-
20 tional Laboratory. And again Greg Gdowski, from Livermore
21 will present the testing aspects of the waste form and con-
22 tainer, waste package, EBS, materials testing considerations.

23 That will be followed up later today by the invited
24 presentations from the Board from the international community
25 and others outside of the Yucca Mountain program.

1 Just briefly, tomorrow the DOE presentations will
2 continue with the overall total system, total high level
3 waste management system, comparative costs due to various
4 thermal loading considerations by David Jones from Weston;
5 regulatory and legislative considerations regarding thermal
6 loading from Mike Lugo, formerly of Weston now with SAIC; and
7 then an overall total system performance concept considera-
8 tions from Mike Voegele from SAIC. I'll try to provide a
9 comprehensive summary tomorrow morning as a lead-in to the
10 round table discussions at that time.

11 Thank you very much. I would like to now introduce
12 Dr. Tom Blejwas from Sandia.

13 DR. BLEJWAS: Thank you, Mike.

14 Well the title of this first talk for me this
15 afternoon is Repository Design Enhancements, but I wanted to
16 clarify what I mean by an enhancement, because, I think
17 enhancement is one of those words that means a lot of dif-
18 ferent things to different people. I have narrowed this talk
19 to deal with enhancements as those kinds of things that we
20 would do to a repository design that would change the temper-
21 ature environment within the repository or within the geolog-
22 ic repository surrounding the engineered barrier system. So
23 I am not going to talk a lot about impacts. That's what I
24 think we heard about this morning. Really what I am talking
25 about are what kind of changes could we make. And the talk I

1 gave yesterday actually covered a lot of this so you are not
2 going to hear a lot of new material.

3 So, my outline looks like this: talk a little bit
4 about design goals; design trade-offs, I'll give you a little
5 bit of amplification on the plans I mentioned yesterday and
6 then some conclusions. What we see as the goal, the design
7 goal for the future is to design a repository system that
8 needs performance objectives with an acceptable level of
9 uncertainty. And some of those performance objectives deal
10 with the thermal environment and some of the uncertainties
11 deal with the thermal environment. I am going to concentrate
12 my talk a little bit and try to focus in on those two areas.

13 I wanted to remind you some of the things that I
14 said yesterday. In terms of uncertainties, we see the uncer-
15 tainties coming from the mechanistic impacts of the thermal
16 loading on the repository, and then those mechanistic effects
17 in turn cause performance uncertainties. And we want to
18 design against those uncertainties, but the approach that we
19 have chosen and we plan to continue to use for the future, is
20 to try to develop temperature goals or other goals, most of
21 the goals would be temperatures however, that would minimize
22 to an acceptable level or reduce to an acceptable level, the
23 mechanistic uncertainties and then in turn the performance
24 uncertainties. So the process and design is not to directly
25 deal with those uncertainties, but rather to deal with them

1 through temperature goals.

2 I put this next viewgraph up with a lot of trepida-
3 tion because, yesterday is the one I got all my questions
4 around. I am not going to discuss this viewgraph again in
5 total. I really just wanted to point out that the area we
6 are really concerned about is really design alternatives.
7 What alternatives can we have that might change the thermal
8 loading of the repository? I have amplified on this viewgra-
9 ph though, what I mean by system assumptions. We are talking
10 about waste characteristics, waste receipt, pre-packaging and
11 etc. Those kinds of things that would come to a repository
12 that the system would determine as opposed to things that we
13 would look at for the design of the repository itself. And,
14 the things I put on this viewgraph for design trade-offs,
15 shouldn't come as a surprise to you. You are people that
16 could easily recognize, particularly after a day and a half
17 the kinds of things that will change the temperature environ-
18 ment in the repository. But, let me just go through some of
19 them real quickly.

20 I wanted to emphasize the idea that when we deal
21 with the design element of spacing, that is the amount of
22 area we have, the volume of waste we are going to place and
23 how much flexibility we need in our emplacement schedule,
24 that generally we can get a hotter repository if we have a
25 larger waste volume in a smaller area, and the inverse would

1 be true. But I also wanted to point out that this is really
2 the primary area that the waste package would have on the
3 temperature for the repository. In other words, if you try
4 to come up with enhancement schemes, different materials for
5 a waste package, various packing materials, you are not going
6 to change significantly the temperatures of the rock mass
7 around the package. And that is part of the reason that is
8 not included in this talk.

9 The real effects in terms of temperature come in
10 how much waste you are going to put in the package and how
11 far you space them apart. So that is the primary thing you
12 would change. Also, very significant would be schedule,
13 early emplacement, all these other things being equal will
14 cause higher temperatures in general. Delayed emplacement
15 would cause colder temperatures. There might be some con-
16 fusion because in the past other speakers have talked about
17 for example 60 year old waste and you see higher temperatures
18 out in time, well that 60 year old waste but with the same
19 areal power density, initial areal power density. So, what I
20 am talking about here is just generally with these other
21 things being the same, without keeping areal power density
22 constant, what effects can we get from these changes.

23 We can also make some improvements on lay-out and
24 you saw from Eric's videos yesterday, that as we vary the
25 lay-out, you can get cold spots, hot spots, etc. So, for

1 example commingling the waste can tend to smooth out the
2 temperatures, where if we separate the spent fuel and the
3 defense waste, we would end up with some hot spots and some
4 colder spots. So, we can make changes that way.

5 Also, you saw that ventilation can have some impact
6 on the overall temperatures, and I know you are going to get
7 some discussions on that from others. But, clearly if we
8 ventilate a lot, we are going to tend to reduce the tempera-
9 ture of the repository. Backfill is probably more of a secon-
10 dary consideration if we backfill early, obviously we don't
11 have the option to ventilate and it might create some proble-
12 ms with respect to heat.

13 Now to give you an example of the kinds of things
14 we have looked at a little bit in the past, we didn't specif-
15 ically try to optimize the temperature of the repository, but
16 we did consider the effect of options on the temperatures
17 within the repository. So, for example, we looked at the
18 effect of the orientation for the emplacement of the waste,
19 whether horizontal or vertical on the temperatures that we
20 would get in the boreholes. So, this was done during the
21 conceptual design for the site characterization plan.

22 What we found is that if we went with a vertical
23 emplacement, we end up with a curve that looks like this with
24 a peak temperature that is almost 230 degrees, but it is
25 indeed below what was at that time the design goal of 235

1 degrees. If we went with a horizontal emplacement and I
2 should refresh your memory, that during the site charac-
3 terization plan, horizontal was very long horizontal. We
4 had a much smaller number of emplacement boreholes with a lot
5 of packages in each one of those boreholes. With that scheme
6 the boreholes are widely spaced, and hence we ended up with
7 lower temperatures for peaks. So we did consider these kinds
8 of things in the site characterization plan, but not aiming
9 at optimizing temperature, just to look at the effects and
10 insure that we made our goals.

11 And so I am going to repeat a little bit of what I
12 said yesterday. This is what we see as our actions, and I
13 hope that you agree after hearing over the last day or so
14 some of the possible impacts of temperature on the repository
15 that we will continue to perform mechanistic studies where
16 they are appropriate, and we are looking for guidance from
17 you to perhaps modify those plans, but we do have plans for
18 looking at those. And then we'll update our temperature
19 goals recognizing these factors that I mentioned yesterday.
20 But, it is important to understand that we do plan to update
21 those temperature goals and I expect the round table discus-
22 sion will focus on that kind of an update. What should it
23 look like? Again, we developed boundaries of design alterna-
24 tives and performed the studies.

25 Another viewgraph that I used yesterday dealing

1 with the overall approach to the design studies, establishing
2 the baseline and then getting down to performing the study,
3 revising the baseline, and I wanted to emphasize again that
4 we expect to use expert judgment from a variety of groups
5 and decision-aiding methodologies. A part of that expert
6 judgment would come from an organization like yours.

7 This viewgraph, I will put up one last time. I got
8 a little bit ahead of myself yesterday because of a question.
9 What I wanted to point out at this point in my presentation,
10 it doesn't appear in your package again, I didn't repeat it
11 in the package, but it is essentially the same viewgraph, was
12 the idea of what are we going to do if we don't meet our
13 temperature goals? I mean, we always presume we will, but we
14 know that we may end up with more tightly constrained
15 temperature goals; temperatures that are lower than we had
16 anticipated in the site characterization plan. That may
17 result from the updating of our performance allocation
18 process. So, what I anticipate us doing is updating this
19 process, looking at the mechanistic impacts, the performance
20 impacts, and based on a lot of expert judgment coming up with
21 new temperature goals for the repository.

22 We will perform analyses based on these various
23 inputs and we will end up with temperature profiles based on
24 those analyses and hopefully the analyses will end up with us
25 meeting those temperature goals. If they don't though, then

1 we have to look at what things we can change. If we have
2 already gone through all of our design alternative studies
3 and we don't have anything else that we can consider for
4 alternatives in the design, then we really have to go back to
5 the assumptions. We have to find out do we have more area,
6 for example, than we previously thought. That would be one
7 way of changing the result. Or, we may have to look at the
8 system assumptions which actually include the waste
9 characteristics. And that would be the process that we would
10 see ourselves going through, going through these studies if
11 indeed we can't meet the temperature constraints, then we
12 have to go back and change our system assumptions somehow.

13 And that generally is the approach that we would
14 take. I will just quickly draw some conclusions on this part
15 of my talk. We think that appropriate temperature
16 constraints are necessary in the design process. I know
17 there have been some people that have suggested that we
18 should just immediately look at impacts, but temperature
19 constraints really make the design process a lot easier to
20 conduct, and it is almost an untenable process without those
21 constraints.

22 We will contact design trade-offs that will include
23 consideration of temperature changes, whether they be higher
24 or lower temperature changes. And you have seen over the
25 last day that there are some views that we should be looking

1 at a higher temperature repository instead of a lower one.
2 But, certainly, that would have to be something that would
3 have to be worked out.

4 Finally, we anticipate doing these trade-offs
5 during advance conceptual design. Now that is putting off
6 some of these studies over the near-term, but I think it is
7 important that we continue on with our exploratory study
8 facility, based on the assumptions that we've made to this
9 point in time, and as we get to an appropriate design stage
10 to revise those.

11 I wanted to mention that part of the reason that
12 I've given a relative general view of how these studies would
13 be conducted is because the project is bringing on a new M&O
14 contractor and logically the advance conceptual design would
15 be planned in detail by that organization, and that planning
16 hasn't taken place at this point.

17 Should I entertain questions in this part before I go to
18 the next talk?

19 DR. PRICE: Why don't you just continue.

20 DR. BLEJWAS: See, we got a head wind already--or a tail
21 wind.

22 The next talk, I had better not skip the title
23 viewgraph is Repository Testing Considerations. And I wanted
24 to emphasize the idea that this is repository testing. The
25 interpretation here should be those tests that are designed

1 to look at repository type design questions, as opposed to
2 tests that would be looking at the waste package for example.

3 What I am going to cover very briefly is a look at
4 those experiments that are potentially affected by a change
5 in the thermal loading for the repository and I'll go through
6 those very briefly for you. And then, what would be the
7 effects of either lower or higher thermal loadings on those
8 experiments. Would we want to change them considerably?
9 Would we want to add new experiments? Expand experiments?
10 Or conversely, might we want to eliminate experiments?
11 Finally, I'll get to some conclusions.

12 From the perspective of experiments that are aimed
13 predominately at the repository, there really aren't a lot of
14 experiments that would be affected, because most of the
15 experiments in the site characterization plan, or many, many
16 of them are designed to look at what is out there presently.
17 These experiments though are more designed to look at what
18 would be the trade-offs with respect to design in the future
19 of a repository. So, for example in the field, the kinds of
20 experiments that we see being conducted in the exploratory
21 study facility are heater experiments, heated block
22 experiments, thermal stress measurements, a heated room
23 experiment, and I'll discuss these very briefly in the
24 viewgraphs that follow, and then a variety of laboratory
25 experiments. They might impact what we did for thermal

1 properties, thermal expansion. We have other properties that
2 are temperature dependent and the ranges for those
3 experiments would change. And then there are other
4 laboratory experiments looking at conceptual models for
5 example that would change also.

6 An example of the kind of fuel experiment I am
7 talking about would be a heater experiment. And this one is
8 aimed at looking at the affect of the heat on the rock mass
9 around the emplacement hole, and this is just a cross-section
10 of what that experiment might look like.

11 I wanted to point out a little bit about the
12 analyses that we've done on some of these experiments to give
13 you a feel for the temperature range that is to be included.
14 This is a representation of the model that we did for
15 looking at a vertical canister heater experiment. And when
16 we did analyses using this model, these are the kinds of
17 temperature profiles that we are predicting in situ for this
18 experiment. These are three different curves that is three
19 different radii from the center line of the heater. This
20 furthest one .37 meters is actually the wall of that heater,
21 which is intended to simulate a waste package.

22 And as you can see, we are planning to be able to
23 conduct that experiment up to a temperature of nearly 500°C;
24 much higher than any of the temperatures we've heard over the
25 last few days. And part of the reason for that is that we

1 are trying to take the experiment up high enough so that we
2 can actually induce some type of a failure, so we may never
3 get to this point, but the intent is to be prepared to get
4 that high.

5 You will also see that the temperatures in the rock
6 mass, for example, a little over a meter away, where the
7 temperature is nearly 300 degrees, where we are planning on
8 limiting some of these temperatures to 200 degrees in the
9 repository. At least those are our plans for the moment.

10 Even if we were looking at a repository that is quite a
11 bit hotter than the one that we are presently planning, for,
12 this experiment probably would still be adequate.

13 I did want to point out to you that we are basing
14 these experiments on some experience we have from G-Tunnel
15 and I know we have discussed some of this with part of the
16 Board in Denver, so I am not going to spend a lot of time
17 with it, but it does perhaps explain why I have confidence
18 that some of our calculations will be fairly good in the
19 future with respect to temperatures.

20 These are plots similar to the ones I just showed
21 you, but except the solid and dashed line are calculated
22 temperatures and then the various points are circles,
23 triangles and squares are temperatures that were measured in
24 the field from a G-Tunnel experiment. And you can see that
25 in general, the trends were well predicted by the analyses.

1 Actually, the magnitudes are, but I will tell you that we did
2 not adjust our thermal parameters in the model. We took the
3 values from laboratory experiments and used them directly in
4 the model and didn't adjust them, but I think that was just
5 fortuitous. We happened to come up with very close
6 correlation. There are problem some factors that would make
7 it higher or lower, but still I think the most important
8 things is the trends are very good.

9 Another experiment that would be very affected if
10 we went to different thermal loading would be a heated block
11 experiment, and I won't discuss that in any further detail.
12 We have an experiment that we call a thermal stress test, and
13 we were originally planning on doing a prototype test of this
14 experiment in G-Tunnel, before G-Tunnel was closed. We still
15 plan on conducting an experiment like this and an experiment
16 design will probably go through some modifications with time.
17 Generally the experiment consists of rows of heaters into
18 the rock mass and then the variety of instruments that would
19 affect the temperature in the rock mass and also measure the
20 displacements in the rock mass.

21 Part of the reason that you see the heaters in the
22 back or roof of the drift is because the idea was to heat
23 this up high enough to see if we could induce a failure in
24 the rock mass. And we would limit the amount of ground
25 support that we would put into this facility.

1 DR. LANGMUIR: Tom, I bet that these studies are
2 entirely being done by the rock mechanics people without
3 discussions with the hydrologists or the geochemists. I
4 suspect; I may be wrong. Historically, that's what it has
5 been. And implications of this go to the hydrology and the
6 geochemical implications of changes in the thermal regime.
7 So these really ought to be Kermit's design and collaboration
8 between these various people. What's going on here and what
9 is the plan for this in the future?

10 DR. BLEJWAS: Well, I can tell you what went on when the
11 experiments were being designed and there hasn't been much
12 work since then. When the experiments were being designed,
13 we had regular meetings of the people that were conducting
14 the experiments in a variety of fields including the fields
15 like hydrology. And those people would get together and talk
16 about their experiments together. And indeed sometimes we
17 would modify the experiments based on what other people would
18 like to see in them. However, you are absolutely correct
19 that these experiments were designed primarily to look at
20 rock mechanics questions because they are oriented or based
21 on design questions. What are we going to be able to do with
22 the design of the repository. However, we do try to modify
23 them to meet other needs.

24 Now in the future, I would expect as we get closer
25 to being able to conduct experiments in the field that we

1 will reinstitute that type of an organization where we
2 regularly get together and discuss the experiments. I
3 shouldn't say, the organization hasn't really been disbanded,
4 there just hasn't been a lot of participating in the rock
5 mechanics field, because, we are not doing any testing in
6 that area.

7 We also have done analyses of this experiment, this
8 thermal stress test. I wanted to point out here that we are
9 aiming at heating the rock mass up to relatively high
10 temperatures. The highest temperatures close to the heaters
11 here are 400°C, but even as you get out to line D here, that
12 is a temperature of 120°C, so the intent was to heat a
13 relatively large volume of rock to a very high temperature to
14 see if we could induce some failures.

15 A similar type of experiment, but was intended to
16 be a much longer term experiment was a heated room test. And
17 this is a conceptually arrangement for this test. Instead of
18 putting heaters in a single drift, in this test what we have
19 done is taken two drifts to the side of this experiment, as a
20 matter of fact, this would probably be an excavation test
21 experiment that then became a heated room experiment. We
22 would put instrument in this drift, but also in these drifts,
23 and then heaters, and the arrangements for the heaters;
24 conceptually, this is not necessarily the final arrangement,
25 we would modify those. But the intent all along was to

1 obtain relatively high temperatures. So, for example,
2 looking at a plot of temperatures 40 months after the
3 initiation of this experiment, line D right here which goes
4 completely around the drift and around the heaters is a line
5 of 150°C isotherm. So, we are talking about high
6 temperatures around a very large volume of rock, even with
7 emplacement schemes that would lead to APD's on the order of
8 80 kilowatts per acre, this probably would still be a very
9 good representation or upper bound on the kinds of
10 temperatures we would need to look at.

11 DR. CANTLON: What is the figure within the D there?

12 DR. BLEJWAS: These?

13 DR. CANTLON: Yes.

14 DR. BLEJWAS: These are individual heaters, so they are
15 heating this rock mass. Again, that arrangement might
16 change. We might go to an arrangement where we actually had
17 heaters in the floor, if we are indeed going to have vertical
18 emplacement, it would take longer though with that scheme to
19 get temperatures out here in the region we are most certain
20 that that would be representative of the repository
21 environment. That is the reason we considered that heater
22 arrangement.

23 Also, Larry, this morning was talking a little bit
24 about stresses. When we look at stresses at 40 months, what
25 we see is that we get some relatively high horizontal

1 stresses. Very locally, we get stresses as high as 120 MPA,
2 but over relatively large regions we even have 60 MPA which
3 is quite a bit higher than the kinds of stresses that Larry
4 was talking about this morning. Again, trying to overdrive
5 the system to see what kind of failures we could get.

6 I am not really going to talk much about the
7 laboratory experiments, because I think some of the
8 conclusions I have here are pretty obvious for the laboratory
9 experiments. Instead, what I would like to do is just jump
10 to what are the effects of lower thermal loading. I want to
11 break this up into parts, what if it is a little lower, and I
12 hope you won't ask me to define a little lower, because the
13 conclusions are pretty broad here. A little lower, we
14 probably are still going to have to do all our field
15 experiments, because we are still going to have quite a bit
16 uncertainty about the behavior of the drifts and the
17 behavior of the boreholes.

18 We would however, probably be able to reduce the
19 range of temperatures for our laboratory tests, and indeed,
20 we would be able to reduce, probably the range of
21 temperatures for some of our field tests. We would also have
22 reduction in instrumentation problems, because, one of the
23 biggest problems we have with field tests is trying to get
24 instruments that will measure things like displacements
25 accurately at very high temperatures. That problem would be

1 reduced if we were looking at lower temperatures.

2 Also, the time required would be lower for some of
3 the thermal mechanical tests if we reduced the temperature
4 range at which the tests would be conducted. Now, what would
5 be the effects of lowering the thermal loading if it was a
6 lot lower? And here I am thinking more in terms of the kind
7 of thermal loadings that Eric was talking about 20 to 30
8 kilowatts per acre where we could be relatively confident
9 that we wouldn't get much boiling in the repository
10 environment.

11 If it is a lot lower, I would recommend myself that
12 we eliminate most or at least some of our thermal mechanical
13 experiments, because, the questions of drift stability for
14 example, would be reduced significantly and may not justify
15 the kind of experimental program we presently have planned.
16 We would clearly also have a reduction in our lab property
17 tests.

18 Okay, now those are reductions if we go to lower,
19 but what would we have to do if we have higher thermal
20 loadings? From my perspective, since we have planned most of
21 our tests for relatively higher thermal loadings than we
22 really expect in repository, since we are trying to drive
23 them to failure, I don't see us modifying significantly our
24 field tests even if we wanted to build a repository that had
25 higher thermal loading. I think it would slightly modify

1 some of the experiments, but I don't expect the changes would
2 be significant. We would, of course though, have to expand
3 the range of some of our lab property tests, because we would
4 have to be sure that we have properties throughout the range
5 of interest.

6 And so, in conclusion, I think we can accommodate
7 thermal loadings with possible changes to our testing
8 program. We can accommodate most of the thermal loadings
9 that have been discussed over the last few days if not all of
10 them. And, I don't expect that the changes will necessarily
11 cause any real perturbation to the present plans for the site
12 characterization of Yucca Mountain. I expect those
13 perturbations to be relatively small regardless of what
14 thermal loading was chosen.

15 The present plans, and that is because the present
16 plans can accommodate what I view as a wide range of
17 temperature, so hence, the impact should be low.

18 Any questions?

19 DR. NORTH: I would like to reiterate a comment that I
20 made yesterday on the need to tie these issues to performance
21 assessment. You've given us a very general presentation here
22 about how the thermal loading issues can be accommodated
23 with, I'll call it a modest delta to the testing program. On
24 the other hand, early in the presentation, you showed us a
25 graph indicating a substantial difference in the borehole

1 temperature between horizontal and vertical emplacement.
2 Perhaps, this might be quite significant. Perhaps looking
3 at horizontal drift emplacement, as opposed to borehole
4 emplacement and it becomes even more significant. So, my
5 hypothesis is there may be a lot of very important issues
6 that must be dealt with later on down the line, where these
7 tests could provide very significant information. And I
8 think we will identify a lot of those when we get into the
9 performance assessment and we will see more, what are the
10 issues that are most critical in terms of overall repository
11 performance. And, that seems to me very appropriate that we
12 visit some of these questions a year or so from now when we
13 have a DOE total system performance assessment complete, and
14 ask, what are the implications now for the testing program
15 and specifically what are the implications of the thermal
16 loading issue for the testing program?

17 DR. BLEJWAS: I think that would be appropriate. My
18 reaction though is, I think you are going to be disappointed
19 in that showing thermal effects in a total system performance
20 assessment is not only difficult but it is going to tend to
21 get lost in the noise. So, I am not sure that you are going
22 to see much even when we are able to include the thermal
23 effects in the total system performance assessment, because,
24 as you understand, it is a roll up of a lot of things into
25 one single assessment.

1 Personally, I think these kinds of issues are
2 better addressed with design specific analyses, performance
3 analyses that are aimed at deciding whether something is
4 better or worse without necessarily knowing whether that
5 better or worse will exceed something like an EPA standard.
6 And those kinds of analyses, indeed, I expect we will be able
7 to look at better in a year, and we can show you some of
8 those. But, the total system, the little that thermal will
9 be included in it will not give you the kind of definitive
10 answer you are looking for.

11 DR. NORTH: Yes. I think your point is well taken. We
12 may have to look at the whole pyramid, not just the top part
13 of it.

14 DR. BLEJWAS: Right.

15 DR. NORTH: We may also wish to consider in much more
16 detail what you have called systems wide implications.
17 Looking at MRS transportation, etc., and looking at issues
18 such as what kind of a cask do we want to use. Do we want to
19 use a multi-use cask for emplacement and consider what cost
20 savings, and what savings in radiation exposure, etc., some
21 of these considerations may imply.

22 DR. BLEJWAS: I agree.

23 I would like to say though in response to the early
24 part of your comment that I think that the intent of my
25 presentation was to try to give you confidence that we didn't

1 need to stop now and redesign a testing program to ensure
2 that it could accommodate whatever thermal loading that we
3 are likely to come up with for a repository, but rather we
4 think that that can be adjusted as we go on in the future.
5 And that was the aim of my presentation; I hope that came
6 across.

7 DR. DEERE: Tom, I can see in one configuration, where
8 if there were in-drift emplacement, it would change the
9 layout of some of your tests.

10 DR. BLEJWAS: That is correct.

11 DR. DEERE: It probably would be easy to accommodate it,
12 but it might make it simpler in some cases; it might make it
13 more difficult.

14 DR. BLEJWAS: Yes. And there are likely to be a lot of
15 things like that considered that would cause some changes to
16 the test program. I didn't mean to imply we wouldn't have
17 changes, but I agree with you; that would be a significant
18 change.

19 DR. DEERE: And by the same token, if we were looking
20 seriously at TBM excavated circular emplacement tunnels,
21 would also change considerably the results of the studies
22 that had been presented.

23 DR. BLEJWAS: Right.

24 Of course, we are going to have to adjust the
25 design of our experiments to whatever the concepts are for

1 the repository. So, as we go to more reliance on mechanical
2 excavations such as TBMs, whatever shape openings we are
3 going to deal with in the repository are experiments we also
4 intended would be adjusted to try to represent the repository
5 as best we could. Good point.

6 DR. PRICE: Any other comment or question?

7 If not, we will proceed to the next speaker who is
8 Wunan Lin from Lawrence Livermore. His topic is Near-Field
9 Environment Testing Considerations.

10 DR. LIN: My talk also was designed to give you my view
11 of what high or low thermal loading would have impact on the
12 uncertainty of testing. I am not supposed to tell you
13 either high or low thermal loading is good or bad.

14 DR. PRICE: If you have an opinion, can we catch you in
15 the corner other time?

16 DR. LIN: If it is off of record, yes.

17 I would like to say that engineered barrier system
18 should include not only waste package but also the near-field
19 environment. Dr. Larry Ramspott said they mentioned that
20 near-field environment is also a part of the repository.

21 The main concern here is the quality of water in
22 this environment. And by quality I mean the chemical
23 property of the water.

24 So I'd like to cover in this talk about the tests
25 that are required to understand the moisture movement or

1 moisture content in the near-field environment. Now, I am
2 not supposed to bore you with the test results, I've been
3 told not to, but I cannot resist the temptation of showing
4 you some of the results just to show you that those tests can
5 be done and that we are doing it.

6 You have heard Tom Buscheck's very detailed
7 analysis of the hydrologic property in the repository
8 including the near-field environment. This is my layman
9 summary of conceptual model. You can see that in either high
10 or low thermal loading cases, we are going to deal with
11 temperature. Of course, on this side the temperature may be
12 higher than this side. We are going to deal with thermal
13 cracking maybe more on the high thermal loading case than the
14 low thermal loading cases, but some of the rock may start
15 some thermal cracking at a temperature as low as about 50°C,
16 simply due to the difference of thermal expansion of
17 different minerals.

18 The dehydration may be more in the high case than
19 in the low case. Going to have drying in the high thermal
20 loading case, maybe not much in the low thermal loading
21 cases. It may take a very long period of time before we can
22 observe some of the moisture movement in the low thermal
23 loading case.

24 In the rehydration and infiltration, when water
25 comes back it may imbibe into the matrix more in the high

1 case than in the low case. And, of course, geochemistry you
2 have to study both cases except that in the high case you may
3 have mineral left behind the dehydration zone. Flows, you
4 have to study both fracture flow, matrix flow and also in the
5 both cases.

6 Borehole stability may be more in high case than in
7 the low case. So, my conclusion, before I reach the
8 conclusion part, is that similar tests are required for both
9 cases; and, you may see that at the end of the talk too.

10 I am going to cover both laboratory tests and in
11 situ tests. In the laboratory testing, I'll cover fracture
12 healing, model validation experiments, matrix property
13 measurements, hydrology and nuclide adsorption experiments;
14 this is particular design for the performance analysis.

15 In the fracture healing experiments, we try to
16 study the fracture healing at different pressures and
17 temperatures. Our experimental results so far indicated that
18 fractures begin to heal, and when I say heal I mean decrease
19 of permeability, at a confining pressure of 50 bars; when
20 temperature is above 90°C, it doesn't have to be boiling;
21 when you have water flow all steam, I think probably is wet
22 steam, flowing through the fracture. Now, in the
23 parentheses, I indicate that this test has to be done for
24 both high and low thermal loading cases.

25 In the model validation experiments, we study the

1 effect of temperature on the flow of water and vapor. And we
2 do this in a very close collaboration with Tom Buscheck and
3 John Nitao. We start imbibition and drying of rock samples;
4 we started condensation around fractures; and, this probably
5 only needs to be done for the high thermal loading cases
6 because boiling is going on.

7 We start a fracture flow versus matrix flow, and
8 this has to be done in both high and low thermal loading
9 cases, maybe more on the high thermal loading cases. We are
10 then going to put together a laboratory scale heated block so
11 we can have an integrated study and of course that needs to
12 be done for both high and low thermal loading cases.

13 To show you some of the results that we have got so
14 far, this is impedance imaging of a rock sample with a
15 longitudinal fracture at about that location. And we start
16 the sample with total saturation, gradually dry out the
17 sample and you can see that as Tom mentioned to you this
18 morning, that drying started at fracture zones gradually
19 expands into the matrix area then of course the sample
20 eventually becomes totally dry. Then we rehydrate the sample
21 putting water back into one end of the sample and you can see
22 that unfortunately the rehydration is not a reverse process
23 of dehydration. This kind of thing needs to be taken care of
24 in the model analysis.

25 Another experiment we did and this is prototype

1 testing in the laboratory, therefore we did not use Topopah
2 Spring Tuff, instead we used plaster of paris, that is easier
3 to do. You can see the fracture flow, we put blue dye water
4 pounding on top of the fracture which was about 25 micron
5 aperture. The fracture flow through the sample, you also see
6 matrix flow into the matrix part or the sample.

7 In the matrix property, we measured suction
8 potentials to a temperature of 160°C; we measured thermal
9 cracking, this probably needs to be done especially for high
10 thermal loading cases; we measured permeability, both water
11 permeability and gas permeability, and of course this has to
12 be done on both cases; we measured Klinkenberg coefficients
13 and this was for Tom Buscheck to calculate the vapor
14 diffusion into the rock samples.

15 Some of the results that we obtained in laboratory,
16 the suction potentials was the saturation level in Topopah
17 Spring Tuff at 20°C and 70°C. When the sample is wetting,
18 imbibing the water, you can see that it is at higher
19 temperature because a smaller surface tension of water, you
20 have got smaller saturation level at the same suction
21 potential. This is when the sample was imbibing water.

22 When the sample was drying out, the same kind of
23 situation except that the difference between the room
24 temperature and 70°C is much significant in this case, when
25 the sample was drying. So this kind of thing may have to be

1 taken care of in the model calculations.

2 Hydrology and adsorption of nuclides, we have just
3 designed a system that can be operated at the temperature of
4 150°C, and can be used for various confining pressures and
5 pore pressures, and this is to study the effect of adsorbing
6 the nuclides to the hydrology. This would be studying
7 fracture flow, along with nuclide adsorption in the sample.

8 Turning to the in situ testing, the in situ testing
9 is an extension of laboratory testing and also intended to
10 use it to validate Tom Buscheck's model. In that case we
11 want to study hydrologic, geochemical, geomechanical
12 responses of rock mass to thermal loading. We can use
13 various power outputs of heater, so that we can overdrive a
14 bigger rock mass, therefore, Tom can test his model at
15 greater range of conditions. And this kind of test needs to
16 be done in both high and low thermal loading cases and we
17 have completed our first prototype testing in G-Tunnel. We
18 would really like to emphasize that prototype testing is
19 really necessary for this kind of test because we learn a lot
20 and learn some surprises from geothermal tests.

21 DR. LANGMUIR: Wunan, are you doing these tests in
22 collaboration with researchers at the other labs, because for
23 example, Los Alamos was doing adsorption work prior to this
24 time. Is there interplay between the laboratory researchers
25 in these areas?

1 DR. LIN: We would like to. So far in these geothermal
2 tests, we have not done that yet, but they are being
3 considered in the future tests.

4 In situ testing, we measure those things including
5 temperature as functional space and time; moisture content as
6 functional, temperature space and time; gas pressure;
7 borehole stability; air permeability before and after
8 heating; infiltration tests; and we sample rock sample and
9 water and gas samples.

10 In G-Tunnel test we didn't do all this, we didn't
11 have infiltration tests, we didn't include the borehole
12 stability, and we sample some water samples but not gas
13 samples.

14 In situ testing, the method that we are going to do
15 obviously, is use thermocouple to measure temperature and
16 that can be used to measure very high temperature. We use
17 neutron and density logs to measure the moisture content and
18 we have learned how to use that in the high temperature
19 region. We use high frequency, a tomograph to get semi
20 qualitative or qualitative study of movement of moisture in
21 the rock and that can be done for both high and low thermal
22 loading cases.

23 Microwave resonator that was designed in Livermore
24 to measure the moisture content in the rock and that is, I
25 think it would be a high temperature so that can be used for

1 both cases.

2 Thermocouple psychrometer was also used to measure
3 the moisture content or relative humidity, but that would be
4 better just used for low temperatures because of the
5 calibration problems. Geotechnical instrument that would
6 behave better at lower temperature as Mr. Blejwas mentioned
7 to you a moment ago.

8 Some of the results that we got from G-Tunnel test,
9 this temperature measurements, I'll just show you from four
10 different thermocouples, 86, 87 were just almost right below
11 up in the heater area; 88 and 89 are to the site, but below
12 the heater horizon to the site. You can see that boiling was
13 prolonged in 88 and 89 region; we didn't observe that in the
14 thermocouple right below the heater.

15 Another G-Tunnel result, this was measurement of
16 change in moisture content from neutron logging, from area
17 below the heater and at side to the heater and above the
18 heater. This is just to show you that we were able to
19 measure the change, the dry out or the region or change of
20 the moisture; also, rehydration region after the heater being
21 turned off, totally being turned off at this point. And you
22 remember Tom mentioned to you this morning that rehydration
23 was much slower than dehydration.

24 DR. DEERE: Were these measurements that were made in
25 boreholes that were above and below?

1 DR. LIN: Yes. And, by the way it is about .8 meter
2 from the heater.

3 DR. DEERE: It looks like it is quite sensitive in
4 picking up.

5 DR. LIN: Right. Actually, this is indicating that the
6 rock in this region by this time is almost dry, totally dry.

7 In conclusion, as I mentioned at the beginning,
8 both high and low thermal loadings require similar testing.
9 Of course, if we go like to Dr. Blejwas, very low thermal
10 loading, you probably don't need to those testing.

11 Technologies exists for both tests. We don't have
12 to invent new wheels in this case. Some instruments are more
13 reliable at low temperature, however, some parameters for
14 instance to define the dry zone and saturated zone will be
15 more detectable in the high loading zone, high thermal
16 loading cases.

17 Thank you.

18 DR. PRICE: Questions or comments from the Board?

19 If not, I think perhaps what we ought to do is take
20 a ten minute break at this time and then we'll finish up. I
21 think there is a basic physiology. I don't think it is
22 related to head wind or tail wind, but a basic physiological
23 need. We'll take a break.

24 (Whereupon, a recess was had off the record.)

25 DR. PRICE: The next presentation on Waste Form and

1 Materials Testing Considerations will be by Dr. Gregory
2 Gdowski from Lawrence Livermore. Go right ahead.

3 DR. GDOWSKI: This talk is about the effective thermal
4 loading on waste form and materials testing considerations.

5 The outline of the presentation, just a brief
6 introduction defining the low and high thermal loading
7 considerations; discussing the testing considerations for
8 both the low and the high thermal loading; some other testing
9 considerations on materials and finally just to summarize.

10 For the purposes of this presentation, define two
11 thermal loading scenarios; a low thermal loading scenario
12 where the temperature always remains boiling, that is we are
13 primarily only considering aqueous phase degradation of
14 materials; then we have a high thermal loading scenario where
15 initially the temperature will be above boiling but will
16 eventually go below boiling.

17 First I'll consider the low thermal loading testing
18 considerations. The bulk of the testing would be done at low
19 temperatures. We would be interested in the degradation of
20 the container materials and Zircaloy cladding. This is
21 basically all the phenomenon which I mentioned this morning,
22 such as localized corrosion, pitting and crevice corrosion,
23 general corrosion, hydrogen effects, biological effects.

24 The type of testing that will be emphasized will
25 depend on the waste package design, whether it calls for a

1 corrosion allowance material or a corrosion resistant
2 material. Other testing for this scenario would be the
3 hydride precipitation and the reorientation in Zircaloy
4 cladding. The oxidation and dissolution of the UO_2 pellets
5 and the hydration and dissolution of borosilicate glass.

6 Also, some high temperature testing would be
7 required even for the low thermal loading scenario, such that
8 we could do accelerated testing in order to characterize and
9 model some of the very slow occurring phenomena at the lower
10 temperatures. However, we must use caution in doing these
11 high temperature testing, because, we must ensure that the
12 mechanisms of degradations do not change with temperature.

13 Now onto the high thermal loading testing
14 considerations. A number of tests can be required to be done
15 at high temperatures, such as aging and oxidation of the
16 container materials. We need to know what the effects on the
17 micro structure will be from long-term aging at high
18 temperatures. We also need to consider other degradation
19 modes of the container materials, such as what are radiolysis
20 effects on the container materials.

21 Other high temperature concerns include the
22 creep/stress rupture of Zircaloy cladding; hydrogen effects
23 in the Zircaloy cladding; the oxidation of the UO_2 fuel
24 pellets; hydration of the borosilicate glass. And also as
25 before, we will need to do some accelerated testing of the

1 low temperature phenomena which will occur when the waste
2 starts to cool down.

3 The lower testing considerations for the high
4 thermal loading scenario will include all those degradation
5 phenomena which I mentioned previously for the low thermal
6 loading scenario. But, the tests will have to be modified in
7 order to reflect the changes that have occurred in the
8 materials by the high temperature processes, such as, what is
9 the effect on the dissolution of the fuel pellets which have
10 been oxidized to U_3O_8/UO_3 ; what is the effect of the
11 dissolution on highly hydrated borosilicate glass; and what
12 is the degradation resistance of aged and oxidized container
13 materials?

14 Some other testing considerations for the waste
15 package; we need to consider what is the effect of the
16 backfill on the container materials, whether it is bentonite
17 or crushed tuff, how do they effect the corrosion resistance
18 of the oxide layers that form on these container materials?
19 We also need to consider waste package component
20 interactions, the effect of the corrosion products from one
21 material on the other also need to be considered. And, also,
22 we need to consider the final closure usually the most
23 susceptible part of a structure to corrosion processes.

24 In summary, we have identified the degradation
25 phenomena and concerns for both high and low thermal

1 scenarios; testing will be required to characterize and model
2 and determine the significance of the degradation loads of
3 the materials and waste forms; and, testing should also
4 proceed simultaneously with engineered barrier system design.

5 That is it.

6 DR. VERINK: Greg, I'd like to ask you a couple of
7 questions. You have not listed what container materials you
8 are going to be testing.

9 DR. GDOWSKI: Well, I think that depends on what we
10 decide or the engineered barrier system design.

11 DR. VERINK: You have no ideas about that?

12 DR. GDOWSKI: Well, we have ideas, yes. And, if we are
13 going with the conceptual design, we have decided that we
14 would look at materials such as titanium based materials,
15 nickel chrome molybdenum materials, and LIA-25. Now if we go
16 to a thick walled container material, then we would have
17 different considerations there.

18 DR. VERINK: You said, if, have you already decided that
19 there is nothing but the thin wall?

20 DR. GDOWSKI: I don't think the decision has been made
21 on the design of the waste package, no.

22 DR. VERINK: Then what would you consider for the
23 others?

24 DR. GDOWSKI: For? I'm sorry?

25 DR. VERINK: What would you consider for the other than

1 thin wall?

2 DR. GDOWSKI: Materials such as carbon steel, if you
3 were going to a thick walled waste package in order for
4 radiation shielding; we would consider that.

5 DR. VERINK: Is that all?

6 DR. GDOWSKI: If we go back to the thick-walled self-
7 shielded container, we would also consider copper alloys,
8 because radiation and corrosion of copper materials is a
9 problem if you don't use self-shielded.

10 DR. VERINK: You didn't make any mention in your
11 exposition here about filler materials, is that--

12 DR. GDOWSKI: Oh, that would be a definite concern. I
13 guess I just forgot to mention that when I was talking about
14 waste package component interactions. We would have to
15 consider what the effect of filler materials are on the other
16 components.

17 DR. VERINK: What would be some candidates for that?

18 DR. GDOWSKI: For the filler material? I guess we could
19 consider--

20 DR. VERINK: What is your plan?

21 DR. GDOWSKI: What is planned for that?

22 DR. VERINK: Yeah.

23 DR. GDOWSKI: At the moment there are no plans for that.
24 It is in the developmental stage. There is no testing of
25 filler materials.

1 DR. VERINK: So you say lead is one of the ones that you
2 might then consider?

3 DR. GDOWSKI: Yes.

4 DR. VERINK: What else would you consider?

5 DR. GDOWSKI: As a filler? I would think if we were
6 going to go with the filler, we would also need to consider a
7 thick walled container for shielding purposes. Other than
8 lead, I am not really aware of what else we would use.

9 DR. VERINK: The comment having to do with degradation
10 of container materials and Zircaloy cladding, I gather you
11 are not implying that that is a galvanic corrosion problem,
12 just putting them both in mind.

13 DR. GDOWSKI: No. I just put them both together.

14 DR. PRICE: Are there other questions?

15 Now we will shift gears just a little bit and have
16 speakers who are outside of the labs at DOE and at this point
17 it is my pleasure to introduce to you Mr. Peter Stevens-
18 Guille who is head of Radioactive Materials Management for
19 Ontario Hydro in Toronto, Canada. Mr. Stevens-Guille leads a
20 group 30 engineers who are responsible for nuclear materials
21 management. Today he will speak on a candidate interim
22 storage concept that may be used for disposal.

23 Mr. Peter Stevens-Guille, thank you for being with
24 us today and we look forward to your presentation.

25 MR. STEVENS-GUILLE: Mr. Chairman, Dr. Deere, I would

1 like to thank you and the members of the Board very much for
2 inviting me here today. I am very grateful to be here.

3 Ladies and gentlemen, I would just like to tell you
4 a very brief tale. This is my first trip to Las Vegas, so
5 where did it find me last night at about 9:00 but on what you
6 call the strip with a nob in my hand and quarters in my
7 pocket. And what did I do? I lost the lot, but before I did
8 I had one win. The one win, the numbers came up and I am new
9 to this business, never done it before, and a little device
10 came on the screen or whatever it is, and I said to my
11 colleague, what is this? Oh, she said, it was a she, a wild
12 card. So, I made one win, but I lost it all. But anyway,
13 tonight's another night. But I realize though that the wild
14 card was very characteristic because I had been searching
15 around for an introduction to this talk and I discovered what
16 it is; I am your wild card. And in fact this talk is a wild
17 card, because it is something rather different from what
18 you've heard. I am a different person; I am not a
19 researcher; I am not a scientist. I come from utility; I
20 don't think there are many of us here on the ground today.
21 So you will bear with me; it is quite a different talk. It
22 is coming othogonally, coming at right angles to everything
23 you have heard today. Just bear with that, if you will.

24 The first part that is a bit othogonal is the
25 title, because this was the title I agreed upon to talk and

1 of course it is a slightly different one than in your
2 program. But, if you will stretch your imagination quite
3 considerably and think about interim storage as being a way
4 of devising an engineered barrier, certainly which extends in
5 time and space, I guess as well, the period of aging fuel,
6 then there is this very tenuous connection to the title of
7 this talk, which I am now going to give you to the one in
8 your program. So, you'll just have to bear with me.

9 I guess the other thing that I should mention, I
10 hope I am going to surprise you twice, this afternoon, and I
11 don't think I'll make you fall asleep because it is going to
12 be short. The first surprise is Ontario Hydro up in Canada,
13 Ontario, is one of the largest provinces in Canada. This is a
14 publicly owned utility which has the largest nuclear program
15 in the continent. In fact, it has the second largest nuclear
16 program in the whole world, Electricity du France, is of
17 course as you know the largest one.

18 Now, just in a word about so-called nuclear Canada,
19 and what we've got. We have 22 reactors in operations, at
20 least most of the time; one in Quebec; one in New Brunswick;
21 18 in Ontario which I am sort of representing here today;
22 and, then we have a further two under construction. And if
23 we didn't have a new change of government in the last year
24 which has socialist tendencies, we wouldn't have a moratorium
25 on building new plants in our province, anyway.

1 So, 15 percent of Canada's electricity is nuclear.
2 Canada traditionally has a very high generation of kilowatt
3 hours and kilowatt per capita probably as high if not higher
4 than the U.S., at least our anti-nuclear people are always
5 talking about us as energy pigs, that is the expression they
6 use, so there must be something and you can turn it around
7 and say it is a good thing to an audience like this.

8 Just a word about Ontario Hydro then, five nuclear
9 stations; we group our reactors; we tend to build stations
10 with four units at a time. I'll show you a picture of one of
11 those. We have got 13,200 megawatts in service and 50
12 percent approximately of the electricity that is generated in
13 the provinces nuclear, and therefore would probably rise to
14 about 60 percent.

15 Here is what I hope to be the other surprise and
16 you may note a little bit from yesterday, this is the amount
17 of used fuel in North America in your whole country and this
18 is a very reliable number, I've taken it from one of your
19 publications, this is not quite such a reliable number; I've
20 taken it from one of our own. So, I want to show that right
21 now, we have 21,000 MTUs. I think there are some awful units
22 around. Kilowatts per acre is just ugh. But, anyway MTUs,
23 it should be megagrams if you are an SI purist like myself. ,
24 but, anyway in the year 2,000 you will arise to about 40,000
25 tons and we will be up there at 32,000 tons. So, I just

1 wanted to show that one owner has a very high stake. Our
2 fuel of course is not the same as yours and I had better
3 explain just what it is.

4 As you know you saw a picture of a CANDU fuel
5 bundle yesterday; it's natural uranium, and it has got a very
6 loud burnup. We pass it through very quickly. The advantage
7 is that it is cheap. There is no enrichment other than what
8 is naturally there. And so that is why there are these very
9 high fuel arisings. It is just the nature of the fuel; it is
10 a physical phenomenon.

11 Just another word about Ontario Hydro, this is not
12 blowing trumpets or anything, but explaining the different
13 institutional responsibilities between Canada and the U.S.,
14 because they are germane to this talk and they may be germane
15 to other things as well. We've got a responsibility for safe
16 management of all radioactive materials, and particularly
17 used fuel that we are discussing today. And the
18 responsibility goes right from the production, sort of from
19 the cradle to the grave; production, storage, transportation,
20 immobilization. That is a responsibility. It doesn't mean
21 we do all the work. You have heard from Gary Simmon that
22 should be here listening to my talk, that AECL a federal
23 government lab is carrying out to work on the disposal
24 technology, jointly funded by ourselves, I might add.

25 But this is a responsibility that the federal

1 government lays on all waste producers. And that is an
2 interesting thing because it leads to a focusing of the mind,
3 so that unlike utilities in your company, it doesn't stop at
4 the plant gates. The utilities here, they use fuel, they
5 literally cannot ship it out of the plant gate because that
6 is a responsibility of your Department of Energy, so this is
7 a fundamental institutional difference. It is neither good
8 nor bad; it is just a phenomenon.

9 Now, recently we have developed in our company, we
10 have published and it is available if anybody wants it, just
11 leave a business card, we have published a long and
12 complicated plan. I am showing you that because you can't
13 read it, not the details anyway, but I am putting up a very
14 simplified version. It is a very straight forward plan and
15 what the good part of it is is that it is a public document;
16 it is a commitment by utility which has got 36,000 employees
17 to what it is going to do. And it consists of a storage
18 component, a transportation and a disposal. And unlike in
19 the U.S., we are taking a more leisurely time for disposal.

20 Our in service dates for a repository is 2025, and
21 this is being worked out from what we considered to be
22 reasonable times for both the technology to develop and for
23 the public hearings of which will be extensive to be done and
24 undertaken. We have layers of federal and provincial public
25 responsibilities to meet. We are involved in some of them.

1 The so-called Canadian disposal concept, not a design, a
2 concept, is now undergoing review in Canada by the federal
3 government. And before, if that concept successfully meets
4 the requirements of the federal government, it doesn't mean
5 we can go ahead and build it, because each stage, site
6 selection, and the rest of it, even transportation, is almost
7 inevitably going to have to be subject to further public
8 review, as indeed it should be, I think.

9 But, what I am going to talk about today is really
10 interim storage. It is shown here, it is not quite correct
11 in this diagram because it is shown here as coming in--well,
12 I guess it is correct. The interim storage could be for a
13 period of up to 50 years; we usually would extend its storage
14 for longer periods of that. If for instance the public does
15 not agree with our plans for disposal, as indeed they might,
16 then we would have to do something. And what would we have
17 to do? We would have to continue storing fuel either in a
18 central location or at our station sites for a very long
19 time. So this is the subject of the talk today.

20 I just wanted to mention a point that hasn't been
21 raised. In Canada we spend a lot of time on what we call
22 spent fuel integrity program. We use the word spent fuel,
23 and used fuel somewhat interchangeably. I think the more
24 international use is just spent fuel. We try to use a more
25 simplified word, used fuel for the public because we think it

1 is easier to understand.

2 We've got some fuel bundles which were first
3 generated in 1962, I think they were, so they are almost 30
4 years old. And we have certainly done some comprehensive
5 examination of 27 year old fuel. And we believe from a long
6 series of tests and so on which have been reported
7 internationally, it will be at the upcoming ANS Conference I
8 believe again, which is going to be held in San Francisco in
9 November, that the fuel should be able to retain its
10 integrity under water for at least 50 years, probably longer,
11 but we would want to make a claim of 50; whereas, fuel in dry
12 air, if we can keep it at less than 100°C for probably 100
13 years. If we had it in another gas medium such as nitrogen
14 or helium, it would be longer, or else the temperature could
15 be higher, because 100°C is a pretty mild temperature,
16 particularly after what we have been hearing.

17 This is not new of course, but I just wanted to
18 discuss some of the, well, let's just step back from that
19 for a minute. As with all utilities and all utility reactors
20 in the world, we discharge our fuel underwater. That is an
21 integral design of our utility stations. And we will
22 continue to do that. And at the moment, we have storage in
23 Canada for 33,000 megagrams, 33,000 metric tons. But, in
24 certain areas that space is kind of being used up. So, we
25 are not considering very seriously going into dry storage in

1 a very large scale way, and I will explain the magnitude of
2 this in just a minute.

3 But, first of all, just a background, dry storage
4 is being used in Canada since '74. We've got over 600
5 megagrams or 600 metric tons in dry storage right now and it
6 is behaving perfectly. We have demonstrated in Ontario Hydro
7 dry storage since 1988. When I say demonstrated, that means
8 we have a licensed facility, licensed by our equivalent of
9 your NRC, and also incidently as we have, I would like you to
10 satisfy the regulations of the IAEA with regard to
11 international safeguards on the non-proliferation, etc.,
12 etc.; this demonstration has been under their control.

13 We use containers of about 60 tons mass and they
14 are built of steel and concrete, heavy concrete, illminite
15 concrete for low cost. The interesting trick is we are
16 designing these containers for transportation and for those
17 of you in the business, the B(u) container is the one that
18 has got to go through, you drop from dizzy heights and is
19 subject to impacts and puncture tests, fires and being stuck
20 under water for long periods of time, which I will discuss
21 very briefly in a minute.

22 The container that we have developed, looks a bit
23 like this. It is rectangular in planned form; it is quite
24 large. I should put a picture of a human being here. A
25 human being would be about that high, relative to the top

1 being the head. This is a CANDU fuel bundle then which is
2 about as big as from here to here (indicating), and weighs 22
3 kilograms and is about 100 millimeter to 500 millimeters
4 long. It fits into a cage that we use, a module we call it,
5 and four of these things fit into this container.

6 In principal, it is a very simple device. It is a
7 double steel container filled with heavy concrete, with some
8 reinforcing bar in the middle; it's a good civil design. It
9 has got a lid in the same way, it is welded on. The inside
10 surface is done to ASME standards for reactor containment
11 standards, it is helium leak tested and all that sort of
12 thing. It doesn't have any elastomeric seals; it has got a
13 great bit weld up here again designed to ASME standards.

14 On the 21st of October, we're going to build a ten
15 ton model of one of these and we are going to be drop testing
16 it. This is a final test in a long series. We have been
17 working up from little tiny models of 1/8th scale right up
18 now to a half scale model, which is going to be quite an
19 impressive test.

20 Just to give you a feel for one of our stations,
21 this station has got the somewhat dubious distinction of
22 probably being the largest station in the world, which is
23 very close to a large city. The city is Toronto and it
24 actually resides in the City of Pickering, which you can see
25 in the background. There are eight units here and each is

1 roughly 500 megawatts, so that is about 4 gigawatts, which is
2 quite a large concentration of nuclear power. And there you
3 can't really see them here and it is hardly worth me just
4 pointing to just odd points of the diagram here, but there
5 are swimming pools, some people call them ponds, the British
6 call them, we call them bays for some obscure reason, where
7 the fuel is kept or stored under water. And they are buried
8 in the structure of these ponds so you can't see that.

9 Over here in this space, which I am going to show
10 you if you would just keep that little space in your mind,
11 this is what we propose to build, and we expect to get
12 approval for formal company functions by the end of the year
13 so these are the last two units. In this building here,
14 which I will show you in greater detail, we hope to
15 condition, weld the lid on and store these containers for a
16 long period of time. Our company policies will keep the fuel
17 on site; there is no reason to move it to some central place.
18 We would subject the public to unnecessary risks, albeit it
19 very low risks I believe in transportation, but nevertheless,
20 unnecessary, so our policy is to keep it on-site. And we in
21 theory would keep it here until 2025 when it would be moved
22 off.

23 Incidentally, on the same site, we have had some
24 difficulty with some of our reactors as many utilities have.
25 And I would just might mention we have had to do what is

1 called re-tubed them, and without going into the details of
2 how our CANDU reactors are designed, we have had to
3 essentially take out the pressure vessel of the reactor, and
4 the pressure vessel, there are actually tubes in the Canadian
5 reactor, they are stored in a large number of concrete
6 containers. So, we've got quite a lot of experience; these
7 are 200 ton containers I've just shown here. We have got
8 quite a lot of experience building concrete for storage
9 purposes.

10 Just a further picture of this building shown in
11 detail; there is a workshop here where they would be leak
12 tested, decontaminated as necessary, because, they will be
13 loaded under water, and where they would be then moved to a
14 storage area here, and there are 700 in this particular first
15 phase of our storage facility.

16 Eventually this first phase would hold about 5.8
17 thousand metric tons, and eventually on this site, we would
18 have about 10,000 tons of fuel, which from the document the
19 Department of Energy kindly sent me just the other day, is
20 the size of the MRS that you propose to build. So it is
21 exactly the same size. Your MRS covers 400 acres; it is well
22 known that you've got a lot of space in the United States; in
23 our area in Canada, we are only putting it on about 3 acres,
24 it is smaller, I guess.

25 I thought I would put in this slide, this is our

1 latest calculations of temperatures and by what we have been
2 hearing for the last two days it is awfully dull stuff; but
3 that's intended to be. The surface temperature, this
4 particular run was run in this building on the hottest day in
5 Toronto and it can get hot there too, even though it is far
6 north; it could get to 38°C for relatively long periods of
7 time like several days. And with a cavity fluid of air and a
8 decay heat of about 2.8 kilowatts per container, we expect
9 the surface temperature to be 48, the inner wall to be 78 and
10 the fuel to be about 137; pressure would be about 1.5 bar or
11 1.35 kilopascals, nothing at all.

12 Just a few points in here in anticipating
13 questions, which I am sure the Board will ask, what are the
14 affects of temperature on concrete? It is quite difficult to
15 find out actually. It is certainly true to say that 200°F
16 which is 93°C is kind of enshrined in American codes as being
17 a very, very safe temperature for concrete for sort of
18 indefinite periods. But, if you read carefully, you can take
19 concrete up to 500°F for quite long periods; it depends a lot
20 on the aggregate; it depends a lot on how the water, which is
21 bonded into the chemical matrix of the concrete comes out and
22 so on. But anyway, this particular one is less than the
23 magic 200°F or the 93°C, so we feel quite confident. And
24 most of all, we feel very confident because this is a result
25 of a modeling, and they are notoriously inaccurate as I am

1 sure you all know, and practice has shown that the
2 temperatures would be much more modest than this.

3 I guess just by way of conclusion then, I said it
4 wasn't going to be very long, I didn't write a conclusion or
5 make a slide because I wasn't sure how one would conclude
6 this talk to this audience, because, I didn't know what you
7 were really after, and now having been here for a day and a
8 half, I am definitely sure I don't know what you are after.
9 But, I suppose I did want to point out that up in Canada
10 we've got some plans and our plans if they come about as I
11 hope they will, on a world scale, I mean we are building an
12 MRS in the city; I am not saying it is good or bad, that's a
13 whole separate thing we will have a session on public
14 awareness and so on and we will discuss that, for the size of
15 the MRS you anticipate for your whole country; that's a
16 matter of fact. Whether it is good or bad is another point.

17 Now we do believe the transportable containers have
18 got some advantage. I am sure that society in the future,
19 we've been looking 2,000 years and more in some of these
20 viewgraphs, will be very much more conscious, in fact getting
21 we are getting more and more conscious of what dose does to
22 human beings, or what we think it does, because nobody quite
23 knows at these low rates. But, I am sure there will be a
24 feeling that we don't want to dose workers or the public for
25 that matter, unnecessarily. So, rehandling of fuel from the

1 time it is discharged from the reactor, I am sure will be
2 frowned upon if it leads to dose. So, if you do it once and
3 you put it into a container and you don't have to do it again
4 until you get it to repository, I am sure that will be seen
5 as an advantage.

6 It is always a hard thing to put dollars in those
7 sort of things. There are people who put dollars on man-rem;
8 it is fraught with danger, but nevertheless as low as
9 possible is obviously a desirable target.

10 I think there is another matter too, and that is
11 that we feel that interim storage, if you know you've got
12 fuel in a very safe environment, and our public tells us that
13 they quite like to see it on the surface. Our anti-nuclear
14 critics say put it out there, put it on the highways they
15 say, so it will be a monument to the folly of the nuclear
16 age. That is the way they speak, some of these people; and
17 others are more thoughtful but still perhaps not pro-nuclear
18 say essentially the same thing. They say, we want to see it.
19 We want to have it in sight. They obviously want shielding
20 there, but they want to see it; they are not sure that they
21 want it buried underground.

22 We have recently conducted a five province--we are
23 dealing with the public with this hearing in mind, we are
24 going to hold a public hearing on what to do with our nuclear
25 fuel, or this concept of disposal. One message that came

1 through which was surprising to us, but came through loud and
2 clear is that the public wants to decide, whatever that
3 means, the public wants to decide when they will allow the
4 repository to be finally closed. Closure is an important
5 thing in their minds. They say, what if? What if they leak?
6 This is the way the public speaks. You have to address them
7 at that level.

8 Well, what if? If things are all sealed up, that
9 obviously is not impossible but very expensive, very
10 difficult to retrieve. But one thing, if you had these kind
11 of containers and if they were in a repository for instance,
12 they would be clearly retrievable, particularly if it was a
13 ventilated repository, as we have here. I would point out
14 and this is speculative now, so please don't ask me hard
15 questions about this, but it may be possible to make a design
16 like this in the future for disposal. Now, if you are an
17 electro chemist in the audience you will groan at the mention
18 of cementacious materials being used for such a thing. Some
19 people will groan at the thought of carbon steel being used
20 in a repository because it generates hydrogen. But, there
21 are several years of research and development ahead of us
22 and we may strike it lucky.

23 So that is something we are trying to keep in mind.
24 Then it would be a true triple purpose container; storage;
25 transporation; disposal. That would be a very interesting

1 objective to aim towards.

2 Thank you.

3 DR. PRICE: Thank you. Questions?

4 DR. NORTH: It might be interesting to hear a little bit
5 more about the other aspects of the triple purpose, the
6 storage--rather the emplacement and the transportation. 100
7 ton container would seem relatively difficult to transport.

8 MR. STEVENS-GUILLE: No, 58 tons.

9 DR. NORTH: 58 tons?

10 MR. STEVENS-GUILLE: That would be transportable by
11 barge for instance, or boat of some kind or by rail. It is
12 pretty heavy, I know in the U.S. you have got this legal
13 weight truck concept, or not a concept it is a licensing
14 requirement. We have something similar so road
15 transportation on highways is probably not very likely. But,
16 almost any scenario of transportation would involve some kind
17 of road transport. But, we don't see that--if it was a
18 private road to repository from a rail-head for argument
19 sake, we don't see that as being a particularly difficult
20 thing. Yes, you are quite right, handling a container of
21 these dimensions underground would represent some challenge;
22 there is no question about that. And that isn't Canadian
23 concept. I understood the whole purpose of your Board
24 meeting was to try and look at some sort of lateral thinking
25 as one might call it or some other schemes; here is one.

1 Fifty-eight tons is on the high side, but it is not un-
2 doable; not non-doable, I would think.

3 Now with regard to the research and development, we
4 have in place a program which was started in a very modest
5 way one year ago and will continue between ourselves and our
6 colleagues in AECL, with regard to the real technical issues
7 of whether a concrete container even gets into the running as
8 a disposal container. So, that work is very, very tentative
9 and I don't want to speculate on the outcome of that.

10 DR. DEERE: Probably the transportation of some of your
11 transformers approaches that in size.

12 MR. STEVENS-GUILLE: Some of our transporters are 200
13 tons; this is very small compared to that.

14 DR. DEERE: And you take those across country truck.

15 MR. STEVENS-GUILLE: Yes, but you have to start to bring
16 down telephone poles and wires.

17 DR. DEERE: And reinforce bridges.

18 MR. STEVENS-GUILLE: They are special arrangements; that
19 is a legal term also for nuclear transportation. But, no we
20 have done transportation studies; we have had them reviewed
21 by British Nuclear Fuels, which as you know is foremost in
22 transportation, and we don't believe that is an
23 insurmountable problem. After all, we are not thinking of
24 doing it for nearly 30 years in the future, so there is some
25 time to iron out the bugs.

1 MR. MCFARLAND: Do you see any problem with convincing
2 your review authorities that the concrete canisters can pass
3 the drop tests?

4 MR. STEVENS-GUILLE: Yes, we do. Sure. Yes.
5 Absolutely. That is why we are inviting them down to come
6 and witness our drop test and they have been part and have
7 witnessing various aspects of our program. I mean this
8 program didn't start yesterday, it started ten years ago and
9 we've brought them along--that is not the right phrase, but
10 we have physically brought them along to each test that will
11 be conducted and we have given them our calculations and told
12 them what we predict and then shown them what we've got.

13 You must understand that when we talk about
14 dropping 58 tons of concrete, we are not dropping it bare,
15 although we have dropped models bare, we cover them with
16 impact limiters. It is a fairly standard thing in the
17 industry; we use high density polyurethane foam. You can
18 design impact limiters to restrict the G forces quite
19 considerably. But no, I anticipate that licensing a concrete
20 container with conservative Canadian licensing body will be a
21 protractive job. But I am looking forward to finishing my
22 career in the years to come in such an endeavor.

23 MR. MCFARLAND: It might be an interesting effort to
24 document to help our DOE perhaps convince the NRC that
25 ductile cast iron --

1 MR. STEVENS-GUILLE: When you really look at concrete,
2 it is not quite the material you feel it is. The popular
3 conception of a big concrete cylinder is what we see in
4 Canada and I'm sure you can see it here in Nevada, a big
5 culvert section going down the road, T-junction or something
6 like that. It looks awful; it has got rebar sticking all
7 over it and it has got a great big hole cut in the side and
8 it is a big shabby and shoddy because it is going to be
9 buried underground. It probably has no strength at all if
10 you dropped it off the back of the truck. I think most
11 people would think it would crack in such a way that it would
12 have no integrity for through leakage. I am sure that is
13 true. But that is not really an engineered product for a
14 nuclear waste transportation device. It is the same
15 materials, but you can engineer them in different ways.

16 DR. PRICE: Thank you for that presentation; we are glad
17 you have got something concrete to work on.

18 Our next presenter is Dr. George Danko from the
19 University of Nevada. He is an associate professor in the
20 mining engineering department, Mackay School of Mines. He
21 has been working in thermal simulations, heat transfer
22 studies, ventilation and climate simulations for the mining
23 industry. He will present concepts on thermal enhancement
24 for a high level repository.

25 DR. DANKO: Thank you, very much.

1 I'd like to thank the Chairman and the Board for
2 inviting me and giving me the chance to present some of the
3 ideas we have developed at the mining department about
4 cooling enhancement for nuclear waste repositories.

5 I would like to define thermal enhancement; I would
6 like to describe a few techniques which can be used for
7 thermal enhancement; I'll show a few application examples
8 relative to waste emplacement using enhancement; I'll discuss
9 a few impacts concerning temperatures and drying enhancement
10 and then I'll draw some conclusions.

11 I am sure that influence in temperatures in our
12 high level waste repository was a complete puzzle for many of
13 us yesterday morning, but we have heard about many ways of
14 influencing temperatures and by today, this afternoon, this
15 puzzle has been solved. So, I will put this into a jigsaw
16 puzzle form and certainly I have put it together.

17 There is one element in this puzzle which I am
18 going to talk today and that is engineered thermal
19 enhancement; I fit it into the middle among the other
20 elements influencing temperatures and heat flows. Those are
21 site thermal physical properties of every power load or
22 initial area heat load of the waste. The third element is
23 waste heat decay law; that is the age of the waste. And
24 certainly, an important element is the waste emplacement
25 layout geometry, especially the exposed rock surface area

1 where heat is injected into the rock. And the last element
2 is engineered thermal enhancements.

3 That will make it easier to define thermal
4 enhancement. That is promotion of heat rejection into the
5 geological rock mass and/or the environment of the repository
6 by engineered heat transport techniques and/or devices.

7 I listed four different techniques to realize the
8 thermal enhancement. Three of them will include air
9 ventilation and convection to remove the heat from the
10 emplacement area into the rock at farther distances from the
11 emplacement area or into the environment; into the
12 atmosphere.

13 The first one is open-loop repository air cooling
14 by ventilation. This method has been considered to cool the
15 waste in situ and bring down temperatures of the emplacement
16 borehole in the area.

17 The second one is a slight modification of an open-
18 loop air cooling using closed-loop controlled air
19 recirculation.

20 The third one is a closed-loop natural air
21 convection.

22 The fourth element, the fourth technique is a
23 unique one when heat transfer is promoted within the rock and
24 it does not include any kind of a visible cooling loop.

25 I'll show a few pictorial diagrams to illustrate

1 these techniques one-by-one. The first one is open-loop
2 repository air cooling by ventilation. The underground
3 repository facility is shown in the middle; waste containers
4 are in place either in cavities or in the drift. We have an
5 access ramp and a shaft and we can maintain a cross-flow of
6 air to bring some heat from the emplacement area into the
7 atmosphere. The enhancement direction is container to air
8 and it is probably more effective to apply for drift
9 emplacement than for cavity emplacement. This technique has
10 been considered to cool down the emplacement area for
11 possible maintenance or waste retrieval. That technique
12 needs power, needs a fan, needs many things including
13 monitoring of the radionuclide carried away by the air and by
14 ventilation. So, it does have some definite disadvantages.

15 This modified version, which has been suggested by
16 others and there are papers on closed-loop controlled
17 recirculation, does not communicate with the atmosphere. The
18 thermal enhancement includes two steps: one is container to
19 air, and the second step is from air to rock and that is an
20 enhancement from one part of the repository to another part
21 of the repository. That can be ventilation between two
22 panels, one being in place and the other is under
23 construction, in order to bring some heat into another area
24 to enhance drying in the other area while keeping cool the
25 active repository emplacement part.

1 Number three, still working with air cooling, is a
2 closed-loop natural air convection. There is no cross-flow
3 involved in this technique. We can see an air recirculation;
4 we see assume this air recirculation here driven by natural
5 buoyancy, difference between the hot and the cold air; that
6 can be enhanced and the temperature difference can be broke
7 down between the container and the air and between the air
8 and the rock surface.

9 Technique number four is the unique one. When
10 promotion of heat transfer is established using some
11 engineered heat transferring device installed into the rock
12 mass. This is the direction of heat flow, thermal trajectory
13 and I'll elaborate on the techniques which we can apply.
14 But, first, I would like to emphasize why we need this rock-
15 to-rock thermal enhancement. I listed two main reasons.

16 The first one is to remove heat from the
17 emplacement cavity towards the drift surface. If you want to
18 perform an in situ cooling re-aging of the waste, this
19 technique can help remove heat from the emplacement cavity
20 towards the surface of the drift in order to remove it by
21 ventilation. So that can be incorporated in the ventilation.

22 The other reason for using rock-to-rock thermal
23 enhancement in cavity emplacement is to bring down
24 temperatures, high temperatures around the emplacement
25 borehole. And then I want to emphasize that enhancement is

1 established between point A and B where both points are
2 within the rock mass.

3 The other main reason to consider rock-to-rock
4 enhancement is shown in this other sketch. When heat is
5 rejected towards the pillar area from the emplacement area in
6 order to keep the temperature difference lower, to heat up
7 the rock at farther distances in order to enhance drying of
8 the rock.

9 I listed four feasible techniques to realize
10 thermal enhancement within the rock: heat pipes; thermal
11 syphons; heat-superconductor rods and, active or passive heat
12 pumps. I would like to elaborate on heat pipe and thermal
13 syphons.

14 I am sure we all have a fairly good idea of what a
15 heat pipe includes. A heat pipe is very simple in
16 appearance; it looks like a rod, a solid rod. But, inside
17 the heat pipe there is a small amount of liquid that
18 recirculates within the heat pipe and transfers heat from the
19 hot end to the cold end. So, this is the heat pipe
20 (indicating). This heat pipe is applied to a horizontal
21 short borehole emplacement. The heat pipe is running close
22 to the container; doesn't touch the container and if a
23 borehole lining is used, then it can touch the borehole
24 lining, but it is not necessary to have a borehole lining and
25 an attachment.

1 The heat pipe itself contains a small amount of
2 liquid that evaporates and vapor transfers heat along the
3 length of the heat pipe and during this travel, it condenses
4 and a condensate will flow back within the weak structure of
5 the heat pipe interior wall.

6 If I say that this figure is not to scale, that is
7 a serious understatement, because heat pipe is relatively
8 small in diameter and this is an attempt to show some more
9 realistic proportion between the diameter of the container
10 and the heat pipe.

11 The heat pipe is emplaced in a borehole and after
12 emplacement it is backfilled with a relatively high
13 conducting material to facilitate a good thermal contact
14 between the heat pipe wall and the rock, all along its
15 length.

16 Thermal syphon is similar in terms of emplacement
17 and the installation. It is different though because there
18 is no evaporation in a thermal syphon. It is a fluid loop
19 that carries heat from the hot end towards the cooling
20 section, and the driving force is just density difference and
21 buoyancy.

22 I would like to show a few applications of these
23 elements. I made one mention superconducting rods, which is
24 so simple that I didn't even prepare an overhead transparency
25 for that, that is a physical way of transferring heat from

1 the hot spot towards another point of lower temperature
2 within the rock.

3 Here are some application examples; I prepared
4 four. Number one will show a short vertical emplacement with
5 a container-to-air and rock-to-rock enhancement. The second
6 example will include a short horizontal emplacement with
7 rock-to-rock enhancement. Number three, will be an example
8 on drift emplacement with rock-to-rock, container-to-air and
9 air-to-rock enhancement. And the fourth example will be a
10 high density vertical emplacement with container-to-air and
11 rock-to-rock enhancement. All these elements I discussed in
12 these conceptual sketches will be applied upon a high level
13 waste repository conceptual example.

14 Short vertical emplacement with container-to-air
15 and rock-to-rock enhancement. This part of the figure is a
16 planned view of a section of an emplacement panel. A cross-
17 section, along these containers and devices as shown here,
18 and these thicker lines are the cooling or thermal
19 enhancement devices, heat pipes, if you wish, that carry heat
20 from the container area into the pillar area. These heat
21 pipes are stretching up at 45 degrees in order to bring heat
22 out of the horizon of the emplacement and that provides a
23 better thermal performance, and on the other had to provide
24 some gravity assistance for this circulation going on within
25 the heat pipe.

1 The connection of the heat pipe to the waste
2 container is shown in this figure. As you can see, the heat
3 pipe is installed in a borehole, which doesn't have a direct
4 communication with the container emplacement borehole, and
5 just transports it out, picks up the heat by conduction
6 within the rock mass. The heat pipe is crossing the
7 emplacement drift, providing a very important service, we
8 will bring out heat from this hot area into the drift and
9 will allow us to remove heat by ventilation more intensively.
10 Then the cooling section of the heat pipe is installed here;
11 it is backfilled so it becomes an integral part of the site.
12 And if you look at the connection between the hot end and
13 the cold end, we realize that this is a rock-to-rock
14 enhancement, however this lower section will realize a
15 container-to-air enhancement, so it is a combined
16 enhancement, and this configuration was analyzed numerically.
17 I would like to quickly jump to some results to show you
18 some immediate benefit of this cooling enhancement.

19 I used 3.3 kilowatt initial heat load and a
20 relatively young waste in this simulation that was from two
21 years ago, it needs a serious update which we hope we will be
22 able to perform. Now, here is the reference case when there
23 is no heat back and no ventilation. And maximum temperature
24 is around 230° celsius on the borehole wall in this cavity,
25 somewhere around here, with shut down heat pipes. If you

1 turn on the heat pipe, but we do not perform ventilation,
2 temperature will drop down to 136° celsius on the same spot
3 which is considerably lower. If we add ventilation and
4 remove some more heat on these sections of the heat pipe,
5 that will bring temperature down to around 100°celsius if we
6 remove two kilowatts per container section, which is 15 feet
7 long section in this simulation.

8 I would like to emphasize the efficiency of the
9 heat pipe cooling enhancement. I would like to also show
10 that ventilation, cooling by ventilation is relatively
11 inefficient as compared to heat pipe, and if we consider the
12 range here Eric Ryder showed us cooling by ventilation, his
13 range was somewhere around here, so we could expect about
14 that much (indicating) of a cooling by ventilation in this.

15 Going further on the line and showing you another
16 example, this is short horizontal emplacement with rock-to-
17 rock enhancement. Again, containers are cooled by thermal
18 enhancement devices. One container per one heat pipe was
19 assumed in this configuration.

20 The further application example I would like to
21 show you is a drift emplacement with rock-to-rock, container-
22 to-air and air-to-rock enhancement. A section of a drift is
23 shown here with two containers emplaced on the floor and
24 these funny looking necks stretching out are the rock bolts.
25 We know we are expecting to see rock bolts around the

1 emplacement drift, of 15 square feet, so that will provide a
2 regular array, of semi-regular array of rock bolts, and we
3 envisioned that rock bolts would be combined with cooling
4 enhancement devices. There will be holes there so it can be
5 just used for two different reasons. One is for supporting
6 the roof and the second to inject more heat into the rock
7 area.

8 Now we can see that with this rock-to-rock
9 enhancement we are realizing two other enhancements at the
10 same time. So it is really a trifling advantage. Again, say
11 heat pipes or other thermal enhancement device, devices will
12 remove heat from this base plate or mat into the rock. This
13 whole area here will de-stabilize the thermal boundary layer
14 within the air and makes this recirculation more intense and
15 faster. Therefore, even on this rock wall we will see an
16 air-to-rock enhancement due to these cold plates. And once
17 we accelerate the recirculation, there will be a container-
18 to-air enhancement on the surface of the containers. So that
19 is a three step enhancement with one technique.

20 The last example shows a high-density vertical
21 emplacement with container-to-air and rock-to-rock
22 enhancement. That was really the first example we published
23 and we came up when we started envisioning thermal
24 enhancement. It again needs a serious update, but the
25 principle was that left out drifts two out of three, so these

1 lines stand for drifts which were left out and we removed the
2 containers from this drifts into these drifts which we kept,
3 so that is a reduction of 66 percent in the underground
4 construction work. It is a dramatic change and a reduction
5 in the emplacement drift length.

6 Instead of emplacing containers into these drifts,
7 we sent out heat using heat pipes. So we realized that we
8 don't have to spread the containers all over the mountain.
9 We can send out heat without sending out containers and keep
10 the containers in a smaller area. That seemed to be a
11 reasonable idea in order to make the site more retrievable
12 with less ventilation problems and other benefits. The
13 temperature for about the same level as was for the reference
14 emplacement layout.

15 These are the impacts I listed, which we came up
16 with using thermal simulations; decrease in hot-spot rock,
17 and container surface temperatures. As a direct consequence
18 of number one, we certainly had the lower thermal gradients
19 around the emplacement area in the drifts. We saw the
20 promotion of rock drying because of the elevated temperature
21 in the pillar area, and as a consequence of these three, we
22 expected a redistribution of in situ and thermal stresses
23 around the emplacement area and farther in the drift.

24 That temperature curve is going to be used one more
25 time. I have already discussed temperature distribution

1 with time, using thermal enhancement for this layout, and I
2 would like to show two other interesting temperature fields
3 for the same layout and for the same enhancement. This is
4 again an example, if you read the bottom curve here, this
5 shows us a cool concept. This is around 100°celsius, so with
6 the original heat load which was a high heat load density, of
7 3.3 kilowatts, but a young waste, we are still able to modify
8 the referenced temperature, that is a hot concept into a cold
9 concept just by using thermal enhancement with no other
10 measures.

11 We can certainly increase the waste mass and bring
12 up the temperature to the original level and this is what is
13 shown in this figure. If we go with the heat load in 25
14 percent steps, then this is the first step, it is already 25
15 percent increase in heat load and temperature is still
16 favorable. Fifty percent increase, still acceptable for the
17 present considered temperature field or maybe even 75
18 percent. 100 percent increase, which means a double waste
19 mass would still give us a slightly lower temperature than
20 that of the referenced case.

21 Now another interesting thing which can be observed
22 by looking at this figure that this temperature history is
23 being transformed and it shows it is more similar to an older
24 waste. So this really performs as an in situ aging if we
25 consider it that way.

1 Another exciting figure is this showing temperature
2 history within the pillar area, 30 meter distance from the
3 container and that is really somewhere around here
4 (indicating). This is the reference case, and with an
5 increased heat load, that reference case is running below
6 100°celsius so that is not going to be dried out for this
7 kind of a young waste. But, with elevated heat load, average
8 heat load, it would give us other solutions for hot concept,
9 with dried out area within the pillar.

10 With these results in our mind, I am in the
11 position of drawing some conclusions. Number one, thermal
12 enhancement can significantly improve temperature
13 distribution both in the emplacement and the pillar area.

14 Number two, a variety of conventional technology
15 can be used, especially ventilation, heat pipes, and the
16 combination of the two. And that is an especially a
17 favorable combination when rock-to-rock thermal enhancement
18 can improve ventilation, cooling by ventilation.

19 Number three, thermal enhancement can be applied to
20 either cavity, or drift emplacement.

21 Number four, either hot, or cool concept can be
22 supported by thermal enhancement. It is not specific to
23 either emplacement method or to concepts relative to
24 temperature level.

25 And number five, additional advantages can be

1 achieved, such as increased drying, a favorable stress
2 redistribution around the emplacement drift, and reduced
3 emplacement areas, or increased waste mass.

4 Thank you, very much.

5 DR. LANGMUIR: Are you producing the same amount heat in
6 the system overall regardless of what technology you use for
7 ventilation? So, what you might in fact do, is you might
8 evaporate more moisture for a larger volume of rock if the
9 average temperature stayed over 95 degrees. So, we would
10 have to consider that consequence, perhaps if we dissipate
11 the heat further out and maintain a lower temperature near
12 the waste. But, then you have options where you can get
13 below 95 too, presumably as well.

14 DR. DANKO: Right. It is a valid comment, but the
15 simulations, Eric Ryder's simulation did not include the
16 removal of heat by evaporation, so those considerations about
17 enhanced drying are really speculative and are relying upon
18 temperature levels. So if we see a temperature running about
19 100° or close to this boiling point temperature, then we
20 assume that there will be drying due to this high
21 temperature. However, the model was a three dimensional
22 model using poor heat conduction for the rock mass, and using
23 convection along those heat pipes. So the model really was
24 capable of handling heat pipe effect all over the site and
25 that was included in the thermal model. But, it was not

1 assumed that due to evaporation, more heat was removed from
2 that area. However, that would modify the temperature
3 results to a certain extent.

4 DR. CANTLON: As I read your figures, the beneficial
5 impact on cooling attenuates around 200 to 300 years. Is
6 that correct? It becomes almost asymptotic.

7 DR. DANKO: Right. It is interesting to see that. If
8 we have a look at the heat flux removed by those devices, it
9 will be the majority of heat removed will be within the first
10 70 to 100 year period and then after that the efficiency of
11 heat removal by these enhancement devices will be very low.
12 So, if you relate this to the title which says pre-closure
13 thermal enhancement, then it is really considered to be pre-
14 closure enhancement, because the job is going to be done
15 within the first few decades.

16 DR. CANTLON: That would mean then that the engineering
17 of the heat transfer mechanism, whichever you use, doesn't
18 have to have a very long life?

19 DR. DANKO: That's correct. That's a correct
20 observation.

21 DR. CANTLON: Then the question would be, what sort of
22 complications do you intrude into the repository in terms of
23 chemistry, different corrosion environments and that sort of
24 thing?

25 DR. DANKO: Well, it is going to touch the same issues

1 as we have got to address when we talk about container
2 corrosion and emplacing containers. Very similar or the same
3 material can be used to cover them and the cooling
4 enhancement devices, the heat pipes. The difference is that
5 these pipes are 0.05 meter in diameter, two inches, and it
6 seems to be easier to handle that small disturbed area.
7 There will be no stability problems along these lines. There
8 could be some corrosion questions addressed along these
9 lines, but as you said at the time, the lifetime expectancy
10 doesn't have to be more than say 100 years and if these
11 emplacement boreholes are correctly designed, they can be
12 effectively used for dividing the repository and engineering
13 the hydrology around this disturbed zone, that it will not
14 invite water into the emplacement area. So even if we assume
15 that the ceiling of these boreholes become defective within a
16 relatively short period of time, it can be engineered in a
17 way that it is not going to be deteriorious to the waste
18 insulation.

19 DR. CANTLON: What about the coolant fluids in the heat
20 pipe, that is a complicated chemistry problem, that would
21 seem to me.

22 DR. DANKO: It is going to be, according to our region a
23 very simple material being water.

24 DR. CANTLON: Water?

25 DR. DANKO: Water. That is the best you can choose for

1 heat pipes at this temperature range. And that is just by
2 sheer chance that if you look into the heat pipe literature,
3 but within this range of temperature, they will list that the
4 superior material that you can select is water.

5 DR. CANTLON: So you have ensured water being present
6 near the container?

7 DR. DANKO: Well, thank you, very much. It seems to me
8 that we are using say half a gallon of water in each heat
9 pipe and you might be able to dry out a few cubic meters of
10 water during this 100 years with a gallon of water which will
11 shed finally and will disappear by itself.

12 DR. DEERE: In the in drift emplacement, when would you
13 be able to do the backfilling?

14 DR. DANKO: In drift emplacement if you talk about rock-
15 to-rock enhancement with thermal enhancement built into the
16 rock bolts, then it is immaterial whenever you want to
17 backfill the drift, those will stay there in the rock and
18 will still do some service in order to keep temperature
19 gradient lower and transfer some more heat so it doesn't have
20 to stop work, we don't have to assume that it stops working,
21 when it is backfilled. So the heat pipes can be operational
22 even after backfilling. But, ventilation has got to stop and
23 I did not assume ventilation; I assumed natural convection
24 for drift emplacement for a longer period of time, while for
25 a short period of time ventilation could be efficient to keep

1 temperatures lower.

2 So, again to summarize my answer, whenever you
3 backfill that will stop the container-to-air enhancement but
4 the rock-to-rock enhancement will still give us some
5 favorable service to keep temperatures more even along the
6 site.

7 DR. DEERE: The motive of my question was to see when
8 one might be able to use a backfill material including
9 bentonite, and in that case you might need ventilation,
10 forced ventilation, assuming that bentonite should be used at
11 a temperature not greater than this morning, we heard 400°
12 for short term, but possibly a little over 100 or 150°.

13 DR. DANKO: 100 to 150° celsius. Right. It is a
14 question of simulation to see how long a period of time you
15 need for ventilation. But, I expect to see a significantly
16 short time if rock-to-rock enhancement is used instead of
17 just relying on sheer ventilation. So that needs to be seen;
18 needs to be calculated and we certainly need some work going
19 on in this area to look into this interesting question, how
20 long a time span is needed for ventilation?

21 DR. DEERE: Did you say that the rock bolts would be
22 just an ordinary rock bolt?

23 DR. DANKO: No, it will be a special rock bolt. It will
24 be an ordinary rock bolt in terms of strengths of the bolt,
25 but we are envisioning a core within the rock bolt with a

1 heat pipe. So, it will be an integrated rock bolt with a
2 cooling device. That is the idea.

3 DR. LANGMUIR: This may not be a fair question for you,
4 but we have been talking for the last day or so about
5 elevated temperatures around the waste, and we obviously have
6 this requirement of retrievability for 50 years. This
7 certainly has to be a factor, if we are getting human beings
8 down in this space, this certainly would influence the
9 temperatures you could allow or you would want to deal with
10 in a system like this. How does that factor into how you are
11 handling the heat dissipation and how do we deal with that?

12 DR. DANKO: There is a plot of mineral data that will
13 tell us that temperatures will be generally lower if we use
14 this thermal enhancement, so it will be relatively easier to
15 cool down the emplacement drift surface area for entering the
16 temporarily closed emplacement drifts. So if we don't have
17 ventilation for 50 years, but we do have ventilation for say
18 ten years as Eric Ryder assumed, and then after this ten year
19 period, the emplacement drifts will be temporarily sealed and
20 just a very little amount of ventilation will be maintained.
21 Without rock-to-rock enhancement the temperature is going to
22 build up and there will be a thermal shock when it is
23 suddenly decided to cool down to a temperature level of 50°
24 celsius or so for entering.

25 With thermal enhancement devices all active without

1 ventilation, the thermal shock will be lower, and it will be
2 easier to cool down from 80° celsius to 50° celsius from 100-
3 120° celsius to 50° celsius. That is how I see it. And, on
4 the other hand, these cooling enhancement devices will not
5 transfer backward significant heat from the pillar area. So
6 that is one interesting feature in a heat pipe characteristic
7 that it is almost a one way--it can work as a dial, a thermal
8 dial that transfers heat from the emplacement area into the
9 pillar area, but if you for some reason decrease the
10 temperature in the emplacement area, this heat is not going
11 to come back along the same way. It will stay still there.
12 That is a unique feature.

13 DR. PRICE: Dr. Danko, thank you very much for your
14 presentation.

15 DR. DANKO: Thank you, very much.

16 DR. PRICE: Our next speaker is going to be the first
17 one for the Board, because we are going to ask Russ McFarland
18 if he would provide his presentation very short summary of
19 geologic heat pipes in place of the TRW-BMO presentation of a
20 state of the art review, which they were unable to provide
21 for us at this time. So, Russ is going to provide a very
22 short summary that topic as he sees it.

23 MR. MCFARLAND: When I recommended that TRW be asked to
24 come and present a program that they conducted in the '70s,
25 on heat pipes, I had not even the faintest recollection I

1 would be put in this situation. Apparently at the last
2 moment a blue suit at Andrews Air Force Base, Air Force
3 Systems Command in Washington decided that they didn't have
4 adequate time to review the presentation that was to be
5 presented here today. So, having in archives, the number of
6 viewgraphs from that time period, I offered to do a very
7 quick thumbnail presentation of what would have been a very
8 interesting presentation.

9 The USAF in the mid-70s had a program look at very
10 deep facilities to look at surviving weapons effects. They
11 initiated a two year program in 1986 to use geologic heat
12 pipes to dump heat from thermal systems, power systems, air
13 conditioning systems, directly into the rock for command
14 centers, that could not have any openings to the surface.

15 Now when I heard George's first presentation about
16 a year ago, immediately went back to this, and if some of you
17 remember back to the early '70s when the Alaska Pipeline was
18 built wherein they used 130,000 heat pipes in order to
19 support the pipe in permafrost and not have heat from the
20 heated oil go down the supports and melt the permafrost and
21 settle, those heat pipes were ammonia; they are still working
22 today. Apparently the pipe is still suspended above the
23 permafrost.

24 The Air Force went into a testing program briefly
25 to try to apply this technology. They took a look at the

1 grouting development and found out that ordinary cement grout
2 was quite effective. They developed a 15 foot heat pipe and
3 a 100 foot heat pipe in the laboratory to examine the effect
4 of tilt, to examine the diameter, to understand the physics
5 of the design of the heat pipe, where up to that time it had
6 not been optimized. They then decided having a laboratory
7 test, conducting laboratory tests to do a field test. They
8 selected a site some place north of Las Vegas, about 100
9 miles north of Las Vegas in the quartz monzonite, above the
10 water table, about 400 foot deep, rock temperatures about
11 50°F.

12 Within this mine, they installed three 100 foot
13 long heat pipes. They were three inch boreholes, two inch
14 diameter copper heat pipes working through it was Freon-113.
15 The close second working fluid was distilled water. The
16 distilled water in a closed system with a slight pump down
17 was a very, very effective working fluid. It turned out that
18 the Freon-113 was more efficient; the Air Force was
19 interested in efficiency. A boiling evaporator was used and
20 a test was conducted over a period of five months.

21 Now, this was a schematic taken from one of their
22 documents. Really three heat pipes, a freon boiler, nothing
23 more than a heat exchanger, a pump, instrumentation; very,
24 very simple as George indicated. The inclination of the heat
25 pipe was about 20 degrees from the horizontal, the wicking

1 effect, the feedback of the fluid was condensed and was
2 greatly improved.

3 Test results, total operating time of 4500 hours,
4 the most reliable part of the test was the heat pipe.
5 According to the documents, the computers failed at one point
6 and they had power outages. But, the heat pipes each removed
7 about 7 kw. I was shocked when I read that, and with a
8 temperature differential of only 110°F. Now this converts to
9 about 2.1 Btu per hour a foot degrees fahrenheit. The heat
10 pipe's efficiency is a function of its length; the
11 temperature differential; and, of course, the time you have
12 to use it.

13 As far as I know, the results of these studies,
14 this test was never brought into the open literature; it was
15 not classified; I have it in archives. But, it was never
16 published; it was never brought into the open community. The
17 Air Force, for reasons only known to them do not make an
18 effort to bring their research out into academia or into the
19 industry, so it was with some shock when I saw George's paper
20 and wondered where he found this material. And it is the old
21 adage of re-inventing the wheel; very efficient.

22 With that, I have honored my commitment to TRW and
23 I would like now to turn the meeting back over to Dennis if
24 there are no questions.

25 DR. PRICE: Thank you, Russ.

1 Our final presentation for the day, and the tail
2 wind hasn't blown quite strong enough to get us to schedule,
3 but we are getting toward the touchdown time, is an overview
4 of Pre-Closure Ventilation Options. This paper to be
5 presented to us authored by Gary Sandquist, who is a
6 professor of mechanical engineering at the University of
7 Utah, and Antony Ivan Smith who will be making the
8 presentation who is Chairman of TICA and President of
9 Tunneling Technology Corporation and a consultant to Sandia
10 National Laboratories.

11 Mr. Smith.

12 MR. SMITH: It is my pleasure to deliver this paper to
13 the Technical Waste Review Board and a little nervous as you
14 can probably tell. It has been a terrible week with the
15 vagracies of Harvard Graphics and Ventura Publisher and all
16 that can go wrong; everything has gone wrong.

17 A little bit about myself, I am an Australian,
18 fourth generation. I was brought up in England and educated
19 in Canada and first came at McGill University. And after a
20 short tenure there I went to the United States and worked for
21 the Union Carbide Nuclear Company, and I have been involved
22 in the mining and tunneling industry ever since. My
23 particular expertise is in tunneling and tunneling
24 technology, and I have worked underground for the last 25
25 years.

1 This is the title of my paper here and I will try
2 to make this a more abbreviated session. Any repository for
3 high-level nuclear waste requires the utilization of vast
4 concepts and planning, engineering and construction. The
5 needs of the retrieval unit demands a very careful
6 interaction of these skills. In the proposed concepts of
7 excavated tunnels for access and storage, the tunnel boring
8 machines, the ventilation systems become quite critical. And
9 as we move here to this next slide, what I have done is
10 broken down the ventilation requirements in the repository.

11 The major activities during construction would be:
12 portal excavation, access ramps, underground excavation, and
13 emplacement tunnels. These all require very basic concepts
14 of ventilation.

15 The emplacement operations are once again; site
16 preparation; water transportation; canister installation;
17 and, emergency removal. These are individual separate
18 functions that would require different ventilation concepts.

19 Pre-closure operations would once again be
20 maintenance, monitory, emergency removal in case any canister
21 has to be removed.

22 The last area is post-closure operations which
23 would be in terms of backfilling.

24 As we go to what I've identified here as heat
25 sources, natural heat sources or incurred heat sources that

1 would be found in the repository. The one on the left of
2 personnel would be individual; people. People create heat;
3 people have requirements. Kitchen facilities, whatever the
4 requirements underground, these are individual heat sources
5 that are applied into the community. Ancillary support would
6 be locomotives, trains, or loaders or any form of
7 transportation within that aspect that individuals require.

8 The equipment would be the tunnel boring machines,
9 loaders, transformers, compressors, conveyors and
10 transportation devices.

11 The natural would be local rock ambient, this has
12 been addressed in earlier papers; water ingress, I show there
13 is very little here, but in some areas that any water brought
14 in to the environment is a source of heat; ventilation duct,
15 very critical and I placed it in that natural area. In
16 terms of having to ventilate any tunnel or an emplacement
17 area or in any work area, ventilation ducting would have to
18 be placed in order to extract air. This ducting can then
19 transfer heat back into the incoming air and this will be
20 addressed a little bit later in my viewgraphs.

21 Compressed air ducts; tunnel machines will be
22 required to have sources of compressed air and these would
23 once again radiate heat outward from this tubing and ducting.
24 Water ducts, the same would be applied there. Discharged
25 ducts, the same; in tunnel boring machine, for example,

1 generates a great deal of heat. It is often removed by
2 coolers and then that is transferred back to discharge system
3 and brought to the surface. Once again, this heat is
4 radiated back into the incoming air. And the last, but most
5 critical of course, is the nuclear, the heat emanating from
6 the nuclear waste canisters themselves.

7 So each one of these components, I have just taken
8 for example just construction operations. each one of these
9 components could be broken down into what would be the
10 minimum system requirements, so here we are looking at one
11 item. On the other viewgraph we had a whole series. Well,
12 anyhow, I have just taken this one as an example. These are
13 base minimums that are required to have a tunnel or a work
14 area underground. So, we say approximately 150 men are
15 working in this environment. They require 200 cfm per man.
16 That is by law. It is actually implied per employee. So
17 whether you had ten underground or 100, the implications are
18 that your minimum requirements would be for that particular
19 amount; 30,000 cfm, moderately significant. Equipment;
20 diesel. Transportation would be most rapid by using a small
21 cars or maybe trains and such equipment. So 1,000 horse
22 power of diesel power is not very significant for a project
23 as large as this. 100,000 cfm moderately significant amount
24 of air.

25 In terms of the tunnels I've taken 60 feet per

1 minute and I have to refer back to the actual CFR, it states
2 that in a non-coal mine environment, 30 cfm as being the
3 minimum requirement across the bore of the tunnel. But, I
4 have taken 60 feet per minute as being the absolute minimum
5 that is currently enforced through MSHA and OSHA which is
6 applied to coal mines. But when one considers the basic
7 requirements of the system as utilized in current technology
8 using 60 and 100 feet per minute, is the normal basic
9 requirement for day-to-day work underground. So, I've taken
10 60 feet a minute as an example. So in the approximate 22
11 foot main tunnels, 44,000 cfm would be required to maintain
12 just the bare minimum air by law. And in this case here
13 there are twin bore tunnels for the emplacement drifts; there
14 would be two pairs that have been completed and finished and
15 there are two pairs under construction. So this would be
16 the base minimum just for a man to walk into the tunnel and
17 do nothing else but just be there. This is the base minimum.
18 This adds up to 264,000 cfm, which is moderately significant
19 because we are just really looking at the air requirements in
20 the very initial phases of the repository.

21 As I have commented in my paper, if I may refer to
22 it momentarily, is if we looked at the actual construction
23 phases by the rule of thumb, we would see that in the
24 construction phase of the 22 foot main tunnels, we would
25 approximately double that air requirement during those

1 phases. And during the construction of the emplacement
2 drifts which would occur a little bit later on, that the
3 15,000 cfm would go up depending upon the size and of course
4 the tunnel machine. So, we would get up into the 300,000 to
5 400,000 cfm range just based upon the normal activity during
6 the initial phase of the repository.

7 I had intended to read this paper, but I think this
8 is going a little better. What I have done here is broke
9 down these phases into, and excuse the dates in here, the
10 vagracies of how the graphics didn't quite come out this way.
11 But, anyhow I have just taken the two year jump and some
12 approximations in a hypothetical case. But, I think it is
13 indicative that if we see TBM access, this would be the
14 possible requirements during the tunnel boring phase of the
15 access tunnels. And if we note on top of that we have
16 excavations, this would be underground excavation, this would
17 be drifting, this would be chambers for transformer or such
18 and so forth, and right about that we have access minimums.
19 In essence the minimum requirement in an active place
20 underground would be represented by that value.

21 So, as we move along in terms of time, we are
22 coming to the fact where the boring of the emplacement
23 tunnels would come into place and which I chose as TBM waste.
24 That is shown as of 1998. I mean, this is very arbitrary
25 dates, but as one notes, this becomes a larger and larger

1 aspect, looking on the bottom line here, this becomes a
2 fairly basic function. The same amount of work should be
3 done every year and so the ventilation requirements for that
4 phase would be fairly consistent. But, as we note coming out
5 the access minimums have reached a certain point, because we
6 know that they have not chambers or work areas or
7 laboratories. All of these things would have reached a
8 certain particular size. So there is nothing increasing
9 demand in that area.

10 The waste minimums reach up a little bit, because
11 this is what is required in order for a person to access that
12 tunnel. I mean, one might have eight, nine, ten of these
13 waste tunnels completed, but in order for a person to enter
14 that tunnel, the minimum requirements have to be met. So,
15 what I have done is demonstrated a slight increasing
16 requirement for the waste minimum.

17 The last category I call additional cooling is what
18 I feel would be the effects of the nuclear waste and the loss
19 of the heat and this would be the minimum requirements to
20 withdraw that heat to the outside. So, in this approximation
21 we are looking at 500,000 cfm there.

22 We will move to the next viewgraph here. We are
23 moving to what would be a cross-section of a typically bored
24 TBM tunnel. And what I am just trying to suggest in here,
25 the normal ventilation that is very simplified, that our

1 tunnel boring machine would require in its own tunnel. We
2 have a base minimum where you can reach a minimum velocity,
3 and this is a very arbitrary value, which affects man in
4 working. And also affects equipment and for example conveyor
5 belts.

6 In one of the scenarios, in the tuff ramps, the
7 conveyor belt would be removing material from the tunnel.
8 And, at a certain velocity, this conveyor belt would be
9 starting to contaminate the atmosphere. So, we are very
10 dependent upon a fairly moderate philosophy in combined
11 tunnels. A man working in a tunnel cannot work very well in
12 velocities that are around 1,000 linear feet per minute.
13 Typically we find in tunneling is 100 feet per minute is
14 reaching an average value for that.

15 The other point that shows up in this viewgraph is
16 the fact that there is a transfer of heat from a heading
17 through the outboard exhaust here that is taken either to the
18 shaft or to the portal. And at Buckskin Mountain in Arizona
19 during the construction phase of the central Arizona project,
20 this tunnel machine, about 22 foot in diameter the ambient
21 got extremely hot, above 80 and 90°, so they installed air
22 conditioning on the tunnel machine.

23 Well all of the exhaust heat from the air
24 conditioning was then transferred back into the vent pipe,
25 back outside. But, actually the ambient on the outside was

1 less than 10°. So, you have a tendency to bring up the heat
2 level of the working environment.

3 Excuse the spelling, because this was another one
4 of the things that went wrong this week was the vagracies of
5 how the graphics and everything, but anyhow, what I have
6 attempted to demonstrate in here is a fairly typical system
7 that might be important. One of the requirements is that we
8 have, there is a single exhaust shaft. If one has a single
9 tunnel that is entirely utilized for ventilation, then this
10 tunnel can have much, much higher velocities of air. And so
11 that in the scenario here where the blue represents the
12 normal flow of air that is brought from the outside, from the
13 access drift and from the ramps and carried through, the
14 green air would allow for forced air to be passed through as
15 needed and the red line is the exhaust air that is under
16 suction.

17 What I have attempted to suggest to you is that if
18 an invert segment is laid in the tunnel, that the canister
19 could be placed either horizontally or vertically, and allow
20 for natural convection to this air flow, a greater efficiency
21 might result. So this is what this concept is there.

22 I think in the final review here, I think that we
23 need to look at a few points here. One is the gross bore
24 ventilation. The diameter of the tunnel is very, very
25 important relative to the base minimums. This was apparent

1 in an earlier viewgraph. So in terms of any design, the
2 difference between an 18 foot diameter tunnel and a 22 foot
3 diameter tunnel is very significant. So it is quite
4 important in terms of ventilation, overhead cost requirements
5 to go ahead and maintain the minimum diameter as possible.

6 The second one is the heat pipe or augmented
7 cooling. This is an area of great interest and I think it
8 has great potential in terms of the fact this ventilation
9 system could reduce and improve the cooling process.

10 Canister placement in terms of logistics, the
11 horizontal placement of the canister would have a tremendous
12 effect in terms of construction cost and also in terms of the
13 minimum requirement of air. If a placement tunnel is 16 foot
14 in diameter rather than 22 foot in diameter, it makes a
15 tremendous significant cost in requirement in terms of the
16 overall ventilation.

17 Dust and particulate control, very, very important
18 in terms of all the mechanical excavation that is required.
19 This is a very significant area.

20 The high air velocities in access tunnels, this was
21 addressed a moment ago in terms of conveyor belts, human
22 beings, people, equipment, is to bring down the velocities in
23 those tunnels.

24 Separation of construction and emplacement zone.
25 This was brought up by the NRC and it is rather important

1 that this area has to be considered a being very, very
2 important.

3 Ventilation shafts in tunnel, once again is looking
4 at the possibility of a separate drift or tunnels to solely
5 dedicated to ventilation.

6 The last one is the detrimental effects of the
7 waste carriers. These plan to be large pieces of equipment
8 that will be moving through and blocking sections of the
9 tunnel and they will have a very detrimental effect upon the
10 overall ventilation.

11 So, I have attempted to abbreviate my talk here and
12 if anybody has any questions?

13 DR. PRICE: Any questions from the Board?

14 DR. DEERE: If I understood correctly, you said there
15 would be a considerable advantage in ventilation with the 18
16 versus a 22 foot diameter?

17 MR. SMITH: That is correct. Going back to, and let me
18 find the viewgraph here if I can. The minimum requirements
19 for the tunnel are 60 linear per feet across the gross bore
20 of the tunnel. So basically this is by law and is a very
21 specific requirement. So just upon that value alone in terms
22 of the sheer quantities of tunnels required, especially in
23 the emplacement area, the ventilation overhead as I called
24 it, I believe, a significant difference in ventilation
25 overhead would result and this is addressed in the paper; a

1 significant influence for example we are looking at waste
2 minimums here. Waste minimum tunnels, which is the cross-
3 hatch right here and here and here, that value would continue
4 through the life of the repository, but would be very much
5 affected by the diameter of the tunnel.

6 The access tunnels which are approximately say
7 20,000 to 30,000 feet long, are not that significant in terms
8 of the overall ventilation requirement.

9 DR. PRICE: Thank you, very much.

10 MR. SMITH: Thank you.

11 DR. PRICE: I think I want to pause just right at the
12 end of our meeting here to ask if there are any questions
13 from the audience or any comments on any of the speakers or
14 for any of the speakers this afternoon?

15 Absent any such questions or comments, I want to
16 express the appreciation of the Board for those of you who
17 made presentations this afternoon. We are in your debt and
18 do appreciate very much your giving of your time and talents
19 this afternoon for us.

20 Thank you very much. I think without anything more
21 then, we stand adjourned.

22 (Whereupon, the proceeding was concluded on
23 10/9/91, to reconvene 10/10/91.)

24

25

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11