

UNITED STATES

NUCLEAR WASTE TECHNICAL REVIEW BOARD

FULL BOARD MEETING

Evaluation of Ranges of Thermal Loading
for High-Level Waste Disposal in Geologic Repositories

October 10, 1991

St. Tropez Hotel
Monte Carlo Ballroom II & III
455 E. Harmon Avenue
Las Vegas, Nevada 89109

BOARD MEMBERS PRESENT

Dr. Don U. Deere, Chairman
Dr. John E. Cantlon, Chair Morning session
Dr. Clarence R. Allen, Chair Afternoon session
Dr. D. Warner North
Dr. Dennis Price
Dr. Donald Langmuir
Dr. Patrick Domenico
Dr. Ellis D. Verink

NWTRB STAFF PRESENT

Dr. William D. Barnard, Executive Director
Dr. Sherwood C. Chu, Senior Professional Staff
Dr. Leon Reiter, Senior Professional Staff
Mr. Russell K. McFarland, Senior Professional Staff
Dr. Edward J. Cording, Consultant
Dr. Roy E. Williams, Consultant
Ms. Paula N. Alford, Director, External Affairs
Ms. Nancy E. Derr, Writer/Editor

FOREIGN GUESTS

Dr. Klaus Kuhn, National Research Laboratory for
Environment and Health; Germany

Gary Simmons, Atomic Energy of Canada, Ltd. (AECL)

Nils Rydell, National Board for Spent Nuclear Fuel
(SKN); Sweden
Peter Stevens-Guille, Head, Radioactive Materials Management
Ontario Hydro; Canada

I N D E XPAGE NO.**Implications of Higher and Lower Thermal Loading****Opening remarks**

John Cantlon, Co-Chairman, NWTRB. 534

Performance Assessment Considerations

-Time-temperature profiles

-Waste package integrity

-Near-field effects

-Overall performance

Bob Shaw, Robin McGuire, Ben Ross, Mick Apted,
Dan Bullen. 537

Electric Power Research Institute (EPRI)

Introduction

Mike Cloninger, DOE 595

High-Level Waste System Comparative Costs

-Repository costs

-Transportation costs

-Storage costs

David Jones, Roy F. Weston Inc. 595

Regulatory and Legislative Considerations

-Human health and safety (i.e., pre-closure)

-Licensing considerations

-Legislative implications

Michael Lugo, SAIC. 610

Conceptual Considerations for Total System Performance

Michael Voegele, SAIC 621

Summary

Mike Cloninger, DOE 671

**The Thermal Loading Issue, Round-Table Discussion,
Conclusions and Comments****Opening remarks and Round-Table Discussion**

Clarence Allen, Co-Chairman 672
NWTRB, Moderator

1

2

P R O C E E D I N G S

3

8:30 a.m.

4 DR. DEERE: Good morning. Good morning, Ladies and
5 Gentlemen. Welcome back to the third day of this meeting on
6 thermal loading.

7

The chairman of this morning's session is a fellow
8 Board member, Dr. John Cantlon, who is chairman of the Board's
9 Panel on Quality Assurance and recently appointed chairman of
10 the Board's Panel on Environment and Public Health.

11

John?

12

DR. CANTLON: Thank you, Don.

13

I have one logistical item. We have found an unused
14 airline coupon and if someone can identify it appropriately to
15 the people on the desk on the foyer, we'll surrender it back
16 to its owner. Hopefully no one will be marooned.

17

For the past two days, we have heard about various
18 thermal loading considerations and how they may affect
19 repository design and system operation here and in other
20 countries. Also, we have discussed a range of uncertainties
21 associated with alternative thermal loading concepts.

22

Today, we will talk about the implications of high
23 and low thermal loading. We will begin the presentation with
24 a group from EPRI who will look at performance assessment

1 considerations associated with thermal loading, waste package
2 integrity, near-field effects and overall performance.

3 Following this, we'll have a break and then we will
4 review the comparative cost of high versus low thermal
5 loading. We will also discuss how the various alternatives
6 affect the cost associated with the high level waste system's
7 storage, transportation and repository components.

8 For example, cooling of the spent fuel for extended
9 periods before disposal will lower thermal loading, but will
10 increase storage cost. Thermal loading could also be reduced
11 by decreasing the amount of spent fuel in each waste container
12 or by increasing the spacing between waste packages. However,
13 the desirability of these alternatives must be balanced
14 against the need for cost--needs for and cost of a larger
15 emplacement area, more waste packages, greater risks for more
16 handling, and even for additional repositories.

17 Thermal loading also has important legislative and
18 regulatory implications, and we will hear these discussed this
19 morning.

20 As suggested in its draft mission plan amendment,
21 the DOE, and I quote, "will need to be able to demonstrate
22 during licensing that we understand the effects of thermal
23 pulse on the repository and the engineered barrier system, and
24 that the performance of all elements of the system is

1 acceptable with respect to established standards."

2 We look forward to hearing presentations on these
3 important issues, as well as a discussion of conceptual
4 considerations for total system performance.

5 This afternoon, we look forward to an especially
6 exciting discussion, round table, of the issues that have been
7 identified in the previous sessions. And let me ask Dr.
8 Clarence Allen, who will chair that session, to give you a
9 brief outline of the operating principles. Clarence?

10 DR. ALLEN: Thank you, John.

11 I notice the program says this session will provide
12 an opportunity for participants to reach conclusions on the
13 risks and uncertainties, et cetera, et cetera, so we're
14 looking forward to what conclusions have been reached.

15 I think our--the format for this will not be to
16 appoint a given round table with specific assignments,
17 instead, we will sort of have this a round table as a whole.
18 I think we may turn the table around here so that we're facing
19 each other and have at it in an informal fashion.

20 I have invited each of our foreign guests to perhaps
21 lead off with some of the reactions they might have to the
22 three days of the meeting. At least two other people have
23 already expressed a desire to make statements, and certainly
24 we will do so. We will, I hope, set up so the viewgraph can

1 be used.

2 So, please, during the morning, all of you keep in
3 mind what you might wish to add to this session, either in the
4 way of presentations or in the way of questions, and I
5 particularly urge the Board members to think of provocative
6 questions or provocative statements that might keep the
7 discussion going this afternoon.

8 Thank you.

9 DR. CANTLON: Thank you, Clarence.

10 Well, let's start then with the performance
11 assessment considerations from the EPRI group. Bob Shaw will
12 handle the introductions of the group. Bob?

13 MR. SHAW: Thank you, John. It's a real pleasure to be
14 here and we appreciate the opportunity to come before you and
15 give you some results that we've been working on.

16 We're mildly apologetic for the fact that we weren't
17 able to arrive until last night, but I have a Methodology
18 Development Team which I had a six month standing date to meet
19 Monday, Tuesday and Wednesday in Palo Alto, which we did. So
20 a lot of the results that you're going to see here are
21 literally hot off the press. They are things that we put
22 together and worked on over the last three days, Monday,
23 Tuesday and Wednesday of this week.

24 EPRI is the research arm of the electric utility

1 industry. There's reluctance in the electric utility industry
2 to spend much money in EPRI or other organizations on this
3 particular arena because they already see themselves as being
4 the prime funding for the Nuclear Waste Fund for the efforts
5 that are going on with the elite. Nonetheless, they have been
6 willing to provide some funding for work that we've been doing
7 in an overview sense.

8 About a year ago, we published the first of our
9 reports, NP7057, on the work that we had done up to that point
10 on a risk based performance assessment for a high level waste
11 repository. I think many of you are aware of that, and we
12 have made presentations to the TRB on the basis of that.

13 We also currently have a couple activities that are
14 going on that are worth mentioning before I come back to where
15 we are and what we've been doing more recently.

16 One activity that, again, I think many of you are
17 aware of is that about two weeks ago, we sponsored a workshop
18 on the EPA criteria. This was an attempt to pull together the
19 information that was established actually a year ago when the
20 National Academy of Sciences had their forum on the EPA
21 criteria. We had what I feel was a very successful workshop
22 two weeks ago in which many participants, including major
23 people from EPA, got together and said what are the real
24 issues that we're confronted with. The measure of its

1 success, of course, will be what happens now. How does EPA
2 make use of the output that came from that particular meeting.

3 The second effort that we have under way is our work
4 in trying to establish a means whereby expert judgment can be
5 used in such performance assessments. We are establishing a
6 set of workshops in the seismic arena, the first of which will
7 be in mid November, where we have now identified six experts
8 in seismicity, we'll come together, we'll discuss data, models
9 and other features, and we will have a group of experts who
10 will come and elicit their expert judgment with the prime aim
11 of being what are the uncertainties that are really associated
12 with these particular fields.

13 Then it will be our attempt to take the results of
14 such a meeting and blend that into our performance assessment
15 to show how we can make use of expert judgment in an overview
16 performance assessment.

17 Now, let me go back and just say a few things about
18 where we are with regard to our performance assessment in an
19 overview and survey sense.

20 As many of you know, our performance assessment is
21 based on a logic tree analysis for a risk based approach for
22 an overview model of performance assessment. In what we're
23 calling Phase 2, the work that we have under way right now, we
24 considered a number of additions to our Phase 1. And in

1 particular, they included gaseous release, time dependent
2 inputs such as changes in climate that could appear many
3 thousands of years out, human intrusion, thermal loading, an
4 enhancement of the interfaces between the various
5 technologies, we expanded our list of radioisotopes from one
6 to thirteen, and we've really converted from what we
7 considered to be an illustrative performance assessment to now
8 a situation where we consider that we have a usable
9 performance assessment, something that can be used to
10 establish priorities to come to some preliminary conclusions.

11 As I mentioned during the last three days in this
12 week, we have collected together our Methodology Development
13 Team which numbers thirteen people, each of which has an
14 expertise from a different area. This has been the basis for
15 our performance assessment methodology. We also had three
16 observers and three EPRI people there.

17 We're going to, as it shows on your agenda here,
18 march through a select few of the particular technologies that
19 we've had of interest. But first let me just give you the
20 overview logic tree that we are currently using so that you'll
21 have an overview sense of how this performance assessment
22 works.

23 What you're looking at here is a progression from
24 left to right of the nodes and branches that we've

1 constructed. And I'm not going to march you all the way
2 through all of these, but I do think that it's important to
3 have a sense of this so that you understand how the various
4 constituents that we're going to discuss fit into the overall
5 pattern.

6 And if you quickly trace through these, you'll find
7 that about the first five--actually, the first six have to do
8 with the general hydrology of the area, such things as flux,
9 which we determine from, first of all, precipitation and then,
10 secondly, soil physics to determine how much penetration you
11 actually get through, lateral redistribution, change in the
12 water table that results from flux, fracture matrix coupling,
13 saturated flow velocities and then matrix redudctation values.

14 And then there's a second grouping here that has to
15 do with the obtrusive kind of events. Here are volcanos and
16 the water table change, earthquakes and the water table
17 change, and actually at the end we have another one, which is
18 human intrusion. And then 11, 12 and 13 sort of wrap together
19 the engineered barrier system, the source term, near-field and
20 the transport back into the hydrology, which of course is
21 transported all the way through.

22 And we do use a node and branch technique. This is
23 not a probability density function type of analysis but,
24 rather, we asked each of our experts to break down their

1 particular system into a branch type of analysis. So this is
2 the manner in which we have done this work, and now we're
3 going to proceed to march through a few of our experts here
4 and have them tell you how we proceed. And the first one
5 who's coming up will be Ben Ross, who will speak to you about
6 temperature profiles and gaseous release.

7 DR. ROSS: I'm actually giving two talks, but one of them
8 is about how temperature affects gas flow and the other one is
9 about how gas flow affects temperature, so I just made one
10 title slide.

11 I'll talk first about temperature, and this is
12 largely work done for EPRI as part of this project. And what
13 we did essentially is reviewed the literature first of all,
14 and mostly, and we found that there are quite a number of
15 different physical processes that can have a significant
16 effect on temperature. And I know this has been talked about.
17 There's heat conduction. There's convection of both sensible
18 and latent heat. There's gas flow away from zones in which
19 water is evaporating. There's buoyant gas flow. The gas flow
20 can remove water from the system. You can have liquid flow
21 driven by suction. You can also, and I forgot to put this
22 down, have liquid flow driven by gravity. There is gas-phase
23 diffusion. Silica redistribution could affect the
24 permeability, and the ventilation of the repository can remove

1 both water and heat. So you have a complicated problem.

2 And I focus in particular on two phenomena that have
3 the potential in some circumstances of really significantly
4 lowering the repository temperatures, and those are the heat
5 pipe effect, which is what was discussed yesterday afternoon,
6 but I'm referring to a natural heat pipe rather than one
7 installed, and repository scale buoyant gas flow, which is
8 important on its own for worrying about Carbon-14 and will be
9 the second talk I give.

10 So we have here a cartoon of the different heat
11 transfer regimes that can exist around the waste. In the
12 center is the waste package. Furthest away you have an area
13 below the boiling point where both conduction and convection
14 may be important. Then you have a heat pipe region in which
15 the temperature is fixed at around the boiling point. Then
16 you'll have an inner conduction zone where the rock has dried
17 out, the temperature is above the boiling point, and
18 conduction is the significant heat transfer mechanism. And
19 one or more of these regimes can be missing in any--may turn
20 out to be missing.

21 Now, if you'll look at the published temperature
22 analyses, and this is published literature, does not include
23 what's been done earlier at this meeting, you'll find that no
24 one's solved the complete problem. There are numerous

1 conduction only analyses in the literature. There's a paper
2 in Water Resources Research by Tsang and Preuss which has a
3 very low rock permeability compared to the number I like. You
4 have the model of John Nitao which I'll talk more about in a
5 minute, which is a predecessor of the results that Tom
6 Buscheck presented yesterday. But what he did is not
7 repository scale; it's only one room wide, one room and pillar
8 wide. So you don't have the horizontal temperature contrast
9 between inside and outside repository.

10 Then you have some very interesting similarity
11 solutions, semi-analytic solutions by Chris Doughty and
12 Karsten Pruess, but they omit gravity and also have a
13 restricted geometry.

14 But in looking at all of this literature, I've
15 identified three regimes that I think are plausible to exist
16 around a repository, three different heat transfer regimes.
17 One is the case in which there's a low bulk permeability.
18 And, very roughly, I'd estimate that as being less than 10 to
19 the minus 13 square meters, and that would refer to the total,
20 essentially the gas permeability of the rock.

21 The second is a regime in which there's a high gas
22 permeability and the water is mobile in the fractures. And a
23 third regime is where there is a high bulk permeability and
24 the water is immobile in the fractures.

1 In the low bulk permeability regime, liquid is drawn
2 towards the heat source by suction. Vapor, because of the low
3 bulk permeability, moves away by diffusion rather than bulk
4 flow, or at least diffusion is significant compared to bulk
5 flow. The result is a pressure build-up near the heat source.
6 The heat transfer is conduction dominated with little buoyant
7 flow, and the canister temperatures will exceed 95 degrees,
8 which is the boiling point.

9 The other extreme is the regime with high bulk
10 permeability and fracture flow. In this case, you develop a
11 strong heat pipe effect. You find that the buoyant gas flow
12 can be effective as a heat removal mechanism, and there is no
13 pressure build-up near the repository.

14 Finally, in the case of high permeability without
15 fracture flow, you find that the strength of the heat pipe
16 depends on the matrix permeability. You get strong buoyant
17 gas flow, but how effective that is in heat removal might be
18 limited by drying out of the rock. Some pressure build-up may
19 be possible and you will have the one time removal of latent
20 heat by evaporation, and I'm not sure how important that will
21 be, and I'm not sure what the canister temperatures will look
22 like.

23 Now, in order to come up with some results that
24 would be usable as inputs to the overall EPRI model, we had to

1 have a starting point, and I started from the results
2 published by John Nitao, which as I say, was a forerunner of
3 what Tom Buscheck presented yesterday.

4 He allows some water flow in fractures, but only
5 when the system gets very wet. So it's sort of in between the
6 no fracture flow and lots of fracture flow cases.

7 He models a column from the water table to the
8 surface, but it was only one room and pillar wide, and he had
9 a high bulk permeability, which I should add that the results
10 Tom Buscheck showed yesterday had a lower permeability than
11 Nitao did in the earlier work.

12 The other one was also the same, so they were both
13 2.5 times 10^{-13} . Okay. And his conclusion was
14 that the rock dries out around the canisters for about a
15 thousand years, and the pillar goes into the heat pipe zone
16 and never gets into the inner conduction zone. It stays in
17 the heat pipe zone and eventually will cool off, but only a
18 fairly late time.

19 Now I'm going to present reasons why the canisters
20 might get that hot or even be warmer, and then I'll present
21 some reasons why they might not be that hot.

22 Reasons why it might get that hot or even be hotter,
23 that the water you would need for a heat pipe could run down
24 through the pillars or cold spots and leave the system. The

1 water could also run down even through a hot zone through open
2 fractures where it could move fast. There may be water
3 removal by the ventilation system before the repository
4 starts. You could also have mineral precipitants that plug
5 fractures and block the heat pipe, both liquid and gas phases.

6 Now, some reasons why it might get cooler. In
7 Nitao's model, he seems to indicate a 5 to 10 per cent
8 convection effect on the temperature on the Delta T. This is
9 not at the repository; this is away from the repository. But
10 in the modeling we've done, we get the gas flux is 100 times
11 larger than he calculated, so if he's already seeing some
12 convection flux, you know, we thought we'd see a lot more.

13 Second, he starts with, in his older work, he
14 started with eight and a half year old waste, which may not be
15 realistic. As I mentioned, he requires the system to get
16 quite wet before liquid flows in the fractures, and finally
17 heat could be removed by ventilation during the operating
18 phase.

19 So we came up with three cases that we thought were
20 worth considering, what we call a hot case in which most of
21 the canisters are at the temperatures that Nitao calculated, a
22 warm case in which most canisters get pinned at the boiling
23 point by a heat pipe effect, and some get hotter, and a cold
24 case with a maximum temperature which was an arbitrary number

1 a little bit less than the boiling point.

2 And we derive these three curves; the lowest curve
3 is just done by scaling down the top one. But there's clearly
4 going to be inhomogeneity in the repository, so we thought
5 that in each scenario, even if you had a pretty good heat
6 pipe, there would be some canisters that didn't have good
7 access to water and they'd get hot anyway, and vice versa,
8 you'd have a few cold ones, even if most of them were hot. So
9 we more or less made up these numbers.

10 In the first scenario, we said 90 per cent of them
11 follow the hot curve and 10 per cent the next curve, and so
12 on. And we assigned them probabilities which were somewhat of
13 a compromise between my own thinking and what the general
14 feeling of the community seems to be.

15 Now, just to demonstrate to you that the idea that
16 the thing won't get very hot at all is not far out, I want to
17 show you some brand new and very preliminary results. This is
18 work that is funded by Sandia. We also work for Sandia and
19 most of our gas flow work has been done for Sandia.

20 We now have coupled to our gas flow model a
21 transient temperature model, which takes into account latent
22 and sensible heat convection, and this has only been running
23 for about two weeks and still has some instabilities we're
24 working on. And this is the grid we've been solving. The

1 points circled in red I'll show you curves for in a minute.

2 DR. NORTH: What's the scale on that?

3 DR. ROSS: This is the whole repository; the top is the
4 ground surface, and the bottom is the contact between the
5 Topopah Spring and the Calico Hills. Calico Hills is
6 basically a barrier to gas flow.

7 Here are temperatures at 150 years. The solid line
8 is conduction only; the dotted line is convection and
9 conduction. You can see that at 150 years already the hottest
10 region has started to move up away from the repository. This
11 is done with parameter values chosen to be most favorable to
12 convection, but within the realm of reality. Again, this is
13 the repository scale. What you see here is the same; the top
14 is--

15 DR. LANGMUIR: Where is the repository?

16 DR. ROSS: The repository is basically where this 352
17 solid contour is. This is Kelvins. In this case, as I say,
18 we have five times 10^{-11} permeability, which is
19 five times higher than the number I think that I like the
20 best, but is within the realm of reality. And we had a heat
21 source that ramped up linearly from 15 years to 60 years, so
22 it was less of a heat source than a lot of other calculations
23 you'll see.

24 And this shows the temperature as a function of

1 time. The peak repository temperature in this case was
2 reached in the center of the repository, which is the highest
3 pair of curves, was 82 degrees C. and was reached around 90 or
4 100 years. And recall that the heat source didn't reach its
5 peak until 60. The model went unstable at 160 years in
6 numerical instability that we're working on right now, and we
7 think this model has a lot of applications. First of all, our
8 original motivation is better Carbon-14 travel times, but we
9 think it can also be used for all sorts of applications for
10 temperature calculations.

11 These four curves here in the middle are the ends of
12 the repository. And one thing you'll see is that convection,
13 strong convection effects increase the temperature difference
14 between the center and edge of the repository because the
15 convection is stronger at the edge because you have the
16 localized temperature contrast.

17 DR. DEERE: Ben?

18 DR. ROSS: Yes?

19 DR. DEERE: Did you mention your loading?

20 DR. ROSS: Yes, what we did was we simply took 70,000
21 metric tons of heavy metal, divided it by the repository area,
22 took a radioactive decay curve and phased it in linearly from
23 15 to 60 years after the waste comes out of the reactor.

24 DR. DEERE: What did that come out to?

1 DR. ROSS: I'm not sure what the peak is at 60 years.

2 DR. DEERE: 70,000 metric tons?

3 DR. ROSS: Metric tons, divided by--

4 DR. DEERE: What was the area?

5 DR. ROSS: Was it 6.2 square kilometers? 5.6 square
6 kilometers. And this also doesn't have a confining bed in
7 there, but at these early times I don't think that makes much
8 difference.

9 Now, the second topic I will deal with is gas flow
10 as a means of transporting Carbon-14. And this is a model
11 that we've developed, again I should make clear, for Sandia
12 and some of the results I'll show were originally calculated
13 for Sandia and then for EPRI, we took those results and did
14 some additional runs to provide inputs for their model.

15 We take into account there are a number of forces
16 that drive the flow of the gas at Yucca Mountain. There's the
17 natural geothermal gradient beneath the mountain, there's the
18 heat of the repository. Both of those are in our model.
19 There are seasonal and diurnal temperature fluctuations and
20 barometric pressure fluctuations, which on long time scale
21 should average to about zero.

22 The wind is a significant driving force which we
23 don't model, and there seems to be something else that hasn't
24 been figured out yet, perhaps comparable in importance to the

1 wind.

2 The approach in our model is that we fix the
3 relative humidity at 100 per cent and assume that the water
4 can move around to keep it that way and don't worry about the
5 water. We solve for a "Fresh-water head" variable, which
6 makes it numerically more tractable, and the results I'll be
7 showing here are earlier results where we got our temperatures
8 from a steady state conduction model, which we assumed a fixed
9 temperature at the repository and basically used that just as
10 an interpolator to get some smoothly varying temperatures.
11 And all the results I showed before and these were done by
12 finite differences on a PC, and in fact we can do 8,000 nodes
13 without going into extended memory.

14 Now, in addition to the gas flow, we look at the
15 transport of Carbon-14, and we did some geochemical modeling a
16 few years ago where we assumed, first of all, isotopic
17 equilibrium of the CO₂ gas and aqueous bicarbonate, which is
18 an extremely safe assumption. We assumed the water to be an
19 equilibrium with calcite, which is a much less safe
20 assumption, but the people who, you know, some people who I
21 trust say that their gut feeling is that's what it really is,
22 but nobody can, I don't think, demonstrate it from clear data
23 at this point.

24 We calculated equilibria using PHREEQE and using

1 water compositions measured by Al Yang. And then to get
2 travel times, we used the retardation factors we got from that
3 and did particle tracking by integration inside the grid
4 blocks using a method from Dave Pollock of the Survey.

5 The chemical model calculated retardation factors,
6 which depend on temperature, we got different values for the
7 three different units. That just reflects different relative
8 proportions of gas and liquid, and they go down by temperature
9 because of the solubility of calcite.

10 We modeled the gas flow in four parallel cross-
11 sections across Yucca Mountain, each due east-west. This will
12 give you an idea of the geometries we were using. We have
13 three permeability zones. We treated the non-welded
14 Paintbrush unit as having a higher permeability, but in the
15 area that's heavily fractured, we gave it an intermediate
16 permeability. And we solved this on a grid of about 4,000
17 nodes.

18 And here are some typical calculated gas flow lines
19 to give you an idea of what the flow pattern looks like. You
20 get convection cells around the edge of the repository that
21 are closed. This is with the repository heated to 57 degrees
22 C. And superimposed on that is a mountain scale convective
23 circulation, and this particular unit has 100 times
24 permeability contrast with the confining bed.

1 And with that approach, we're able to calculate
2 Carbon-14 travel times, and they turn out to be very geometry
3 dependent; depends where you start out in the repository.
4 This is with no repository heat, and we get a wide
5 distribution ranging from a little less than 10,000 years to
6 around 35,000 years. And with the repository heated to 50
7 degrees, you can see it gets much shorter and remains widely
8 distributed. But, still, a lot of them have a significant
9 delay time comparable to the half-life and the 10,000 years.

10 Okay, thank you.

11 DR. DEERE: I think Buscheck said yesterday that he
12 calculated and, Tom, correct me if I'm wrong, that the gas
13 transport, in the absence of heat, was something on the order
14 of 100 years. Is that right, Tom? Or the Carbon-14
15 transport. And I'm hearing you saying it's closer to 10,000
16 years?

17 MR. BUSCHECK: That's with no retardation.

18 DR. DEERE: Could you identify yourself?

19 MR. BUSCHECK: Tom Buscheck. That's with no retardation.

20 DR. ROSS: That's the same kind of number we get.

21 DR. DEERE: 100 years?

22 DR. ROSS: With no retardation, yes.

23 DR. DEERE: Okay.

24 DR. ROSS: And is that with no heat or with--

1 MR. BUSCHECK: No heat; that's with just the geothermal
2 gradient.

3 DR. ROSS: Yeah. It's the same order of magnitude.

4 DR. CANTLON: Other questions? If not, we're running a
5 little bit behind, so I think we'll go on to the next speaker,
6 and then discuss the group at the end.

7 MR. BULLEN: I'm Dan Bullen and I'm with the Nuclear
8 Engineering and Health Physics Program, on the faculty at
9 Georgia Institute of Technology, and I'd like to discuss the
10 portion of the EPRI model relating to the engineered barrier
11 system, and specifically failure of the container and failure
12 of the waste forms.

13 What you have in your packets, by the way, is a
14 summary of all the overheads that I presented at the EPRI
15 meeting previously this week. I'm not going to go through
16 those. In the interest of brevity, I'll go through the
17 highlights, and I'd be happy to discuss any questions that you
18 may have on the viewgraphs that I don't discuss later this
19 afternoon or at the breaks.

20 By way of introduction, I'd like to reiterate the
21 goal of this portion of the project was essentially to develop
22 a model for the evaluation of the impact of the following:
23 the container failure mechanisms, the container failure rates,
24 and the waste form failure rates.

1 Now, in the EPRI presentation, I did a review of
2 potential degradation pathways, and in the current engineered
3 barrier system design and in an alternate engineered barrier
4 system design. The emphasis I wanted to make here is that
5 this model is applicable to multiple alternate designs and
6 different failure mechanisms. This is a high order model that
7 can use mechanistic models at a lower level as inputs to give
8 you the overall system performance.

9 The container failure models that were developed are
10 essentially a single metal barrier failure, a multiple barrier
11 failure, and I also have a parameter that includes the
12 premature failure of containers.

13 And in keeping with the crux of the EPRI model, what
14 I tried to do was to take a look at the conditions that Ben
15 just discussed, those being hot, warm and cold conditions,
16 talk a little bit about wet versus dry and oxidizing versus
17 anoxic conditions, whether or not the repository sees any of
18 these, and I'll give you brief results of the initial
19 application of this model.

20 Again, a brief review of the engineered barrier
21 system failure models, essentially you identify for a metallic
22 barrier, general oxidation and corrosion, localized corrosion,
23 which includes both crevice and fitting corrosion, stress
24 corrosion cracking, and then phase instability or hydride

1 embrittlement or any other metallurgical problems associated
2 with the metal barrier.

3 I identified models of uniform oxidation and
4 corrosion, localized corrosion, stress corrosion cracking, and
5 I also looked at additional information in Phase 2 which took
6 a look at the failure of the cladding to try and include the
7 impact of the failure of the cladding. The two mechanisms
8 were creep rupture and hydride reorientation.

9 When we first started this program, it became
10 inherently obvious that it was difficult to consider all of
11 the possible degradation models. There was also an
12 uncertainty in the repository environment and currently
13 uncertainty in the engineered barrier system design, where you
14 have whatever type of package you would want to in place. So
15 I decided to employ statistical techniques that had been used
16 for component lifetime prediction and selected the 3-parameter
17 Weibull function to determine the late container failure rate,
18 and I employed an exponential distribution to account for the
19 early container failures. And then I calculated a fraction of
20 containers failed as a function of time to provide an input to
21 the source term.

22 The equations that were developed, in fact this is
23 just the multiple barrier rate equation, but what you see here
24 is a failure rate as a function of time that has a fraction of

1 containers that would be susceptible to early failure, and
2 this will vary as a function of repository conditions and of
3 engineered barrier system design, and it's just an exponential
4 with an average time to early failure.

5 And then you kick in with Weibull distributions for
6 each of the three, with a threshold to failure for the
7 individual barriers and the cladding or the waste form, the
8 poor container if you want to take credit for it. If you want
9 to include it as an inclusive part of your model or an overall
10 part of your model, the barrier.

11 The average failure times, this is a threshold time,
12 this is the average failure time, and this is the Weibull
13 parameter, which is the slope at the mean time to failure.

14 The parameters that I'm going to show you are for
15 two cases; one is a single metal barrier failing in a cold
16 temperature, the other is for a multiple barrier failing at a
17 hot temperature. And for purposes of description here, I've
18 gone through the literature and gone through some previous
19 models and tried to determine how I would plug in Weibull
20 parameters or the three parameters that I have as adjustable
21 parameters in my model to mimic what I think the response of
22 the repository would be.

23 Now, the purpose of this is to show you that I think
24 the model works well within the EPRI scenario. The models

1 that I use and the numbers that I derived are my own personal
2 models. There are no panel of experts that have derived these
3 models. But for the low temperature single metal barrier case
4 with 5 per cent of the containers susceptible to early failure
5 with a mean time to failure of 1,000 years and a threshold to
6 failure of 1,000 and 3,000 years for the engineered barrier
7 and for the cladding, and a mean time to failure of 5,000
8 years, and then an additional 4,000 years for failure for the
9 cladding, with rate parameters of basically a uniform slope at
10 the engineered barrier and an accelerated failure at the
11 cladding.

12 You end up with a distribution that looks something
13 like this where we have fraction failed on the "Y" axis as a
14 function of time. And note the slope down here. Basically
15 this is the early failure parameter, and then the Weibull
16 statistics that describe the cumulative failure distribution.

17 Now, by way of illustration for the hot containers,
18 T greater than 96, smaller fraction were susceptible to early
19 failure, with a longer mean time. Thresholds for failure for
20 the three barriers in this case, it's a multiple barrier case,
21 of 2,000, 4,000, and then I took no credit for the cladding in
22 the hot regime. Mean time to failure of 10,000 years for the
23 first barrier, 10,000 years for the second barrier, and no
24 additional time for the cladding. And failure rate parameters

1 of slow failure rate, moderate failure rate and high failure
2 rate. And, again, the distribution you get is similar and, in
3 fact, for illustrative purposes, it works well to overlay the
4 two, and you can see the change, this being the cold case and
5 this being the warm case.

6 DR. CANTLON: And one being single and the other being
7 multiple.

8 MR. BULLEN: Yes, excuse me, one being single and one
9 being multiple barrier also.

10 So a quick summary; what I wanted to point out
11 essentially was that the failure rates for single and multiple
12 barriers in different temperature regimes have been
13 calculated. I identified my parameters for the Weibull
14 statistics. The applicability of this model would be that you
15 could take a mechanistic or deterministic model, come up with
16 failure rates that you think would be applicable, a mean time
17 to failure, a failure rate at the mean time to failure, any
18 incubation time in which you would expect no failures, plug it
19 into this model and see the overall system performance.

20 That summarizes what I'd like to say. I'll turn it
21 over to Mick Apted if there are no questions.

22 DR. CANTLON: Questions? Ellis?

23 MR. ELLIS: No.

24 DR. CANTLON: Okay.

1 MR. APTED: Good morning. I want to clear up a few
2 informational problems and introduce myself. My twin brother,
3 Nick Apted, couldn't be here this morning, but I'm Mick Apted.
4 Also I'm not, although we are contracted with EPRI for this
5 particular program, I am with a different company, Intera
6 Information Technologies. And just a quick word, that's not
7 the Intera; it's a different Intera than the Intera that's
8 involved with the M&O contract. And if anybody wants a long
9 history on that, they can buy me a coffee this morning and
10 we'll go over, but anyway, I'm here to talk to you about the
11 release rate models for source-term calculations that have
12 been implemented during Phase 2 into this EPRI model.

13 My presentation, I have three parts to, and one is a
14 short discussion of strategy and assumptions that are
15 fundamental to what we're doing, and constraining, in a sense,
16 what we're going to do, basically describing how the source-
17 term model is driven by so much. If you remember these other
18 parameters, if you remember the slide that Bob Shaw put up
19 with all the various nodes, source-term comes actually rather
20 late downstream in that series, so all these effects of flux,
21 earthquakes, volcanic activities, how they change
22 environmental parameters in the near-field are going to be
23 talked about here.

24 And then I'll talk briefly and compress a lot into

1 release modes and models, and talk a little bit about, by
2 inspection, some of the important parameters that are going to
3 come out of that, which of these are particularly sensitive
4 perhaps to the issue at this meeting on thermal loading, and
5 then get a little deeper into that, discussing just the tip of
6 the iceberg on EBS data that is available or needed.

7 I'm not going to talk all these points, but I want
8 to point out a few of them that are particularly important.
9 One, from the beginning, the strategy for the EPRI model, as
10 was similar to the strategy adopted by the Yucca Mountain
11 project and the PACE-90 set of calculations, work that I was
12 involved with with Tom Pigford and the Livermore group,
13 basically that we're trying to identify all relevant release
14 modes, identify those, with no a priori judgment about which,
15 what is their likelihood of occurrence or probability of
16 occurrence. That comes in further down the field, but we
17 didn't want to get into the initial argument, how likely is
18 that.

19 The models and parameters as I show will be
20 identified for each mode, and the basically different
21 scenarios, if you will, defined by different environmental
22 conditions. These different environmental conditions, in
23 turn, are driven along this fault-tree branching by a number
24 of factors, seismic disturbances, thermally induced failure of

1 the air gap is one that's particularly sensitive, the near-
2 field is sensitive to that particular event if it occurs,
3 elevation of the water table, et cetera, et cetera.

4 Basically within the proportion of waste packages
5 that are undergoing release by a certain mode, individual
6 waste packages having different parameters can be
7 independently simulated also. So the repository isn't divided
8 into just blocks of waste packages that are all performing in
9 lock step release. So if some are undergoing, let's say, a
10 mode in which water is dripping down there, the actual drip
11 rate on different packages can be simulated independently.

12 And, finally, where we leave off, where we hand the
13 ball off to the next group, is that the release rate in either
14 units of grams or curies per year in terms of a release rate,
15 which again is for the near-field people, of course, under the
16 NRC regulations is one of the things that is looked at, how
17 well is the engineered system working in terms of this one
18 part and 10 to the fifth release rate mode, but we can also
19 provide concentrations that go into the tuff host rock. So
20 this is where we're cutting off our source-term, if you will.

21 Assumptions: basically we're going to look at two
22 groups of radionuclides, ones that we believe will be
23 insoluble and, hence, solubility limited. These may include
24 cesium, tin, uranium, neptunium, plutonium and americium

1 isotopes. Soluble or reaction rate with these nuclides may be
2 constrained by their actual dissolution rate of the waste form
3 rather than by their solubility of waste matrix or individual
4 radioelement solubilities. But these include selenium,
5 possibly technetium, iodine and carbon.

6 We'll get into some of this other information about
7 where some of this inventory is located and how that affects
8 the models.

9 Getting just briefly ahead of myself in terms of the
10 viewgraphs I'll show, there are three basic broad categories
11 that we're looking at where the mode of release is either by a
12 wet-drip, which is a discontinuous model that the water, there
13 is not a physical contact between the water that might be in
14 the package and the water that's in the partially saturated
15 surrounding host rock. If some continuous pathway were to
16 form, we have a different set of models, varying from just
17 moist conditions, unsaturated, to fully saturated, and finally
18 the dry modes, in which basically we're concerned with release
19 of Carbon-14. Anyway, so those are the three models that
20 we're going to talk about, and I'm not going to get into all
21 these other details.

22 All right, release modes and models. Here's a
23 schematic view of the EBS release modes. It's getting perhaps
24 a bit long in the tooth at the moment, but I think it's

1 illustrative of the general modes that we want to identify.

2 For some large percentage of the packages, the
3 expected conditions as to the package will remain dry. The
4 air gap here design will continue to serve its function of
5 representing a hydrologic break, and water will be diverted
6 around that, and we're dealing basically with gaseous release
7 of Carbon-14 is the mode.

8 Another circumstance might be that in some way water
9 gets directed into an emplacement hole, causes a failure here
10 near the top, and water either comes in and fills this
11 container up like a bathtub, or there's a hole here at the top
12 and at the bottom, and we have a trickle through. But, again,
13 this is a drip model where there's not a continuous pathway
14 between the waste form and the host rock.

15 Finally, there is, if there's a number of factors
16 and some way that the air gap particularly is compromised or
17 that a portion of the repository would become temporarily and
18 locally returned to saturation, we have models in which
19 there's a wet or a moist continuous pathway. Failure of the
20 air gap in some way, tilting of the packages, contact
21 basically, direct contact of the package and material that
22 would allow diffusive, or diffusive conducted pathways from
23 the package.

24 As I say, this type of broad break-out of models is

1 very similar, actually it's identical to the strategy that was
2 employed in the PACE-90 calculations for the Yucca Mountain
3 Project.

4 Another way to look at it, and I should acknowledge
5 contributions and a lot of help by Joe Pearson in this. This
6 is Joe's slide. Basically, let me take you through how the
7 function, continued function of different barriers here in the
8 engineered barrier system affect which release mode. We have
9 a canister or container, and if it remains intact, we're in
10 pretty good shape. We don't get releases through the package.

11 If that fails, however, the next step down is to
12 consider what protection might be afforded by the cladding.
13 If that's intact, then basically we're looking at releases of
14 perhaps Carbon-14 that is on the outside of the cladding.
15 Eventually if we assume in some circumstances the cladding
16 also fails and yet the air gap is intact, then we're either in
17 this dry condition or perhaps in a wet-drip condition.

18 Finally, under a certain set of conditions if the
19 air gap has failed in some way, either under unsaturated
20 conditions or saturated conditions, flow or no flow. So
21 there's a broad nodal branching showing you the different
22 conditions by which we reach different release models.

23 Now, out of that broad category, we took a
24 preliminary selection of five release modes; saturated

1 conditions with hydrologic flow, saturated conditions with no
2 hydrologic flow, these are wet continuous models, saturated
3 conditions with the air gap intact, no dripping water, the dry
4 condition, unsaturated conditions with the air gap intact and
5 yet there is somehow dripping water, a filled bathtub and,
6 finally, unsaturated conditions with a failed air gap where
7 now there's thin film water, aqueous pathways for diffusion
8 from the waste form into the host rock.

9 The five cases I've shown here each are subdivided
10 into two cases. And, remember, I made the point that we're
11 going to have to look at soluble radionuclides and insoluble
12 radionuclides. Some are going to be controlled, and it's an
13 important constraint by solubility. In other case, some may
14 not be limited by solubility, and we're going to need
15 information on the reaction rate of the waste form.

16 Again, it's a lot of mathematics here that one best
17 follow in the references that will be in the EPRI report.
18 This model was developed by Chambre and Pigford and others at
19 University of California at Berkeley, as some of these other
20 models have been, that we've basically taken some of their
21 work and some of the guidance and previous work from
22 Livermore, try to implement those into these models that we
23 have.

24 Finally, EBS data, I really haven't gotten deeply

1 into the theme of this particular soiree we've been having,
2 but I want to talk about two features of the EBS data that
3 have to do with transport considerations first, and then
4 chemical consideration and chemical properties.

5 I think the transport considerations, unfortunately,
6 are often neglected in the near-field. And, again, when one
7 sees especially European and non-U.S. repository programs
8 talking, and they talk this favorite word "robustness". One
9 of the key aspects of the robustness is that they're having a
10 good understanding and control of the mass transport
11 characteristics of their near-field. That's where they're
12 getting a lot of their performance, if you will, is in their
13 understanding and engineering to the point of a robustness in
14 transport considerations.

15 This is work by Jim Conca using an ultra-centrifuge,
16 looking at the effective diffusion coefficient, this is in
17 tuff gravel, as a function of volumetric water content. This
18 is work that was published in the 1990 International Waste
19 Management meeting that was held here in Vegas. Basically,
20 this gravel has a porosity of about 45 per cent, so this value
21 up here is about what we'd expect. All the pores are
22 saturated in there. There are no chemical retardation effects
23 that would mask true diffusion here. And so we get a value of
24 what we'd expect, about 10 to the minus 5th centimeters

1 squared per second.

2 But, interestingly, the gravel, now the pores are
3 not filled with water, but much less filled with water,
4 there's a dramatic fall-off in the diffusion coefficient.

5 I want to point out that for those nuclides that are
6 going to be diffusion limited under partially saturated
7 conditions, basically the release rate for all radionuclides
8 are going to scale directly with this term. So that's not
9 just soluble or non-problem radionuclides. Even the problem
10 radionuclides, the iodines, the seleniums and so on, are going
11 to scale directly with this factor.

12 DR. DOMENICO: Excuse me; Domenico. What's the porosity?

13 MR. APTED: The porosity is about 45 per cent.

14 DR. DOMENICO: 45 per cent?

15 MR. APTED: So this would be about saturation right here.
16 I think the exact number would be in Jim's paper.

17 Well, let me go on. Okay, chemical data. We've
18 talked in the past about that fuel, and the models were
19 created particularly from fuel, is a very heterogeneous waste
20 form, different materials containing different inventories of
21 radionuclides that react differently with water, leading to my
22 analogy is it's like a room full of a lot of radios set to
23 different stations, and unravelling the actual contributions
24 of fuel is still being done, both in close coordination

1 between, I know, the Livermore workers in the modeling and the
2 data collectors in that group.

3 Chemical data that we've used in this preliminary
4 assessment, we were somewhat ambitious and threw a large net
5 over a number of radioelements and radionuclides we thought
6 might be of interest. This is very recent data that Livermore
7 kindly supplied to us and to Golder Associates at a June
8 meeting -- some of their best estimates currently, and I think
9 these are based on EQ3/6 calculations, perhaps confirmed in
10 some cases by tests on waste forms.

11 Here's some previous values that we used in a P&L
12 report years ago, three or four years ago, and basically to
13 fill in some of the gaps where there was some missing
14 information, I want to point out that whether a nuclide is
15 solubility limited or not, for example if technetium has a
16 solubility of 9.9 times 10 to the 5th grams per cubic meter,
17 it's definitely going to be reaction rate controlled. We go
18 to this new value which is definitely going to be solubility
19 controlled. So it's an important cross-over in terms of
20 getting information to use in these models.

21 Finally, I'll talk a little bit also, there are some
22 radionuclides that almost certainly will be controlled by the
23 dissolution rate of UO₂ matrix of fuel. This is work by Gray
24 and Wilson using Approved Testing Material-105, ATM-1.

1 Basically this is in a stirred flowed reactor with oxidizing
2 solution coming in. Basically we're looking at the pore
3 dissolution rate, not a final dissolution rate, but the
4 maximum dissolution rate to be expected for UO₂ matrix.

5 Here, they're measuring uranium and cesium profiles
6 or concentrations as a function of time. And from this,
7 developing rate information about the rate as a function of
8 temperature for the dissolution of UO₂. From the beginning of
9 this, we can now begin to put implicitly some temperature
10 information into the release models.

11 Thank you.

12 DR. CANTLON: Thank you. Questions? All right, we'll
13 proceed then with the next speaker and hold our discussion.

14 MR. MCGUIRE: Good morning. My name is Robin McGuire.
15 I'm with Risk Engineering, a contractor to EPRI. Our
16 involvement is in integrating all of the inputs to perform an
17 assessment and deriving some outputs and some conclusions
18 there from. I'm being assisted by John Vlasity, also of Risk
19 Engineering, and he really deserves the credit for all of the
20 computer graphics that you'll see this morning.

21 Bob Shaw gave an introduction to the model that's
22 illustrated here in the logic tree format where we take the
23 major uncertainty in the problem and quantify those in terms
24 of discrete alternatives and associated probabilities. This

1 is set up so that the more independent terms are on the left
2 side, the more dependent terms are on the right side, so that
3 as a function of the terms on the left, downstream terms can
4 be made dependent on those upstream terms.

5 So, for example, with respect to the topic of
6 discussion this morning, the thermal pulse, we have that here
7 as Node 11. We have a node here representing fractures of the
8 bore holes. That is dependent on the thermal pulse. So
9 values and probabilities are dependent on which branch
10 precedes that node of bore hole fractures.

11 Similarly, as discussed by Professor Bullen,
12 canister performance is a function of the thermal pulse. In
13 addition, we have several other parts of the model that are a
14 function of the thermal pulse that are not represented by
15 uncertainties. Specifically parts of the source-term, the
16 matrix dissolution rate is a function of temperature, and the
17 near-field conditions, specifically there's no hydrologic or
18 aqueous transport if the temperature is above 96 degrees C.,
19 that is, the containers are dry so there's no chance for
20 transport of nuclides in that condition, and that is certainly
21 a function of the temperature profile.

22 So that represents the model, the overall model. We
23 have, in addition eruptions that result from the volcanic
24 model and drilling and excavation scenarios that result from

1 the human intrusion model, and in addition, we have a gaseous
2 transport model, all of which I'll not be illustrating this
3 morning. I'll only be talking about the aqueous pathways.

4 All of the inputs to this model have been prepared
5 from other consultants to the project. The previous slide
6 really represents a synthesis of a great deal of work from all
7 of those consultants. So when you see a node here
8 representing thermal pulse with three values and three
9 probabilities, that really doesn't do justice to all of the
10 work that's gone on to evaluate that node.

11 In particular, this one is relatively simple. We
12 have, as described by Dr. Ross earlier, we have three
13 temperature profiles. We weight those and have basically
14 three scenarios, a hot, warm and cool scenario, representing
15 those various fractions of those temperature profiles and,
16 again, representing various temperature profile fractions
17 among the containers. The last one being cool, the lowest
18 curve having a weight of unity.

19 As further background to the model, what I
20 demonstrated earlier represents one package here that loops
21 over some 30,000 environmental engineering and nuclide
22 characteristics. As part of the input, we have some other
23 parts of the--some other modules that really give what we call
24 transfer functions as input to the basic or the overall model.

1 Particular for this application, we have hydrologic
2 transport that goes through hydrologic calculations and
3 transport calculations for all of the relevant combination of
4 parameters.

5 DR. CANTLON: Could we interrupt you? We're having a
6 little trouble with your mike. We want to change the battery.

7 MR. MCGUIRE: (after pause) Okay, let me repeat a little
8 bit so that that can be picked up there.

9 We have several modules here that are inputs to the
10 macro model. As an example, the hydrologic transport model
11 goes through several calculations among the alternatives of
12 the relevant parameters and gives values of grams output per
13 container at time "T" as a function of unit input for all the
14 different combinations of parameters that affect hydrologic
15 transport and nuclide transport.

16 The advantage to that is that for these 30,000
17 combinations in that logic tree, then we don't have to go
18 through 30,000 hydrologic transport calculations.

19 We have a similar case for the source-term. We go
20 through many combinations there, but those provide an input to
21 this overall model. So that we can very efficiently through
22 this 30,000 set of calculations basically just doing
23 arithmetic to get all of the combinations of parameters and
24 the resulting concentrations of nuclides coming out for the 13

1 nuclides.

2 So integrate those two inputs, we have a similar set
3 of transport functions for gaseous transport. That provides
4 calculations of curies versus time for all 30,000 combinations
5 of parameters. We then go to the display program that you'll
6 see in a minute to plot those results.

7 DR. DOMENICO: Robin, excuse me; Domenico. If I read
8 that correctly, the role of temperature in this whole analysis
9 is strictly associated with the source-term; is that correct?
10 It has no influence on the hydrolic transport?

11 MR. MCGUIRE: That's correct.

12 DR. DOMENICO: That is correct; thank you.

13 MR. MCGUIRE: In this model. It affects the gas
14 transport. We're not talking about that today. Yeah, that's
15 right.

16 So let's go to the results of those calculations.
17 Again, for each of those sets of combinations, we calculate
18 curies versus time, and what I'm showing here is, as a choice
19 for Selenium 79, and this shows curies versus time here from
20 10 to the minus 3 at the bottom to 1,000 curies versus time
21 from zero to 10,000 years. There's a dash line here at 100
22 curies, which is the EPA limit in the proposed standards. And
23 the green curves show curies versus time released to the
24 accessible environment downstream, in our model, 5 kilometers

1 from the repository for all the different combinations of
2 parameters in that logic tree.

3 What you see actually here are about 14,000 curves;
4 the other 16,000 are off scale to the bottom, so those aren't
5 plotted. What we do then is, of course each of these curves
6 has with it an associated probability that it's just the
7 product of probabilities along the path that leads to that end
8 branch, so we can form a probability distribution of release
9 at 10,000 years by going down from the top and forming a CCDF,
10 a complimentary cumulative distribution function. And that's
11 what we'll be showing for the remainder of the demonstration.

12 Now what we're showing here are the CCDF's at 10,000
13 years for all of the nuclides that we've looked at. It turns
14 out some of them are off scale so you don't see them. We have
15 the most important ones being Selenium 79 here and Iodine 129
16 being the green and the red, and also the total curve, which
17 is the total of all nuclides. And now what we're using on the
18 bottom scale is a normalized release. Since the EPA limit for
19 some of these nuclides is not 100 curies, but 1,000 curies or
20 10,000 curies, what we do is normalize by that, and that is
21 the proper normalization with which to compare this CCDF to
22 the EPA criteria of probability of .1 at normalized release of
23 1, and a probability of 10 to the minus 3 at an EPA limit
24 of 1.

1 So the total curve is the dashed red here, and
2 you'll see very close to it is that Selenium 79 curve, the
3 green curve, meaning that the other nuclides really contribute
4 very little to the total on this normalized scale of EPA
5 release. The other ones in particular over here, and other
6 ones that are off scale really contribute negligible amounts.
7 That's an interesting curve and it's the reason why I showed
8 you the Selenium 79 earlier.

9 Another way, however, to look at the results and the
10 sensitivity to the results is to plot separate CCDF's
11 conditioning on some of the choices of the alternatives. It's
12 equivalent to putting a probability, for example, of unity on
13 high thermal loading and zero on the other alternatives
14 instead of the weights of .6, .3, .1 as we've done, which
15 leads to this total curve here. So if we can do that and show
16 the influence on the CCDF of the range of choices of some of
17 the parameters in the system.

18 What we're doing now is just pulling up specific
19 CCDF's that we prepared in advance here from the cumulative
20 files, and the ones we'll show first are the high temperature
21 curve, the moderate temperature curve, the low temperature
22 curve, and then we'll give you the base, that is, the
23 integrated overall choices curve for Selenium 79.

24 So, again, here if you'd pull up the legend just for

1 a minute, the dashed green is the base case or the integrated
2 curve, overall temperature profiles, the green curve is the
3 high temperature curve, and the red and blue are the moderate
4 and low temperature curves.

5 And what you see is initially what you expect, the
6 high curve leads to lower releases, and that makes sense
7 because the repository is dry for the first thousand years or
8 so, and the low curve, low temperature curve, is up here.
9 That's very closely followed by the moderate temperature
10 curve, which also is dry for the first thousand years. And
11 you could ask, well, why is that, that should be more like the
12 low temperature curve. And the reason is in the container
13 performance calculations, the container performance equations.

14 From Professor Bullen, the equations for the
15 moderate temperature curve are much more similar to the low
16 temperature than to the high temperature. So that really
17 governs where this CCDF comes out, more so, much more so than
18 the temperature in the first thousand years, that is, whether
19 it's at or above boiling or below boiling.

20 Okay, let's go to those specific canister
21 performance curves, and we'll pull up another plot here, the
22 first one being canister single barrier, the second being
23 canister multiple barrier, and then again we'll show the base
24 case.

1 So the single barrier curve, if you'd pull up the
2 legend, please, the single barrier curve is the green, the
3 high one. That leads to higher failures, early failures and
4 higher releases relative to the integrated curve, the blue
5 one. And the red curve here is the container multiple
6 barrier, which leads to lower releases.

7 That represents the kinds of sensitivities and the
8 results that we'll be performing over the next few months for
9 EPRI. We'll be adding some models in addition, or some parts
10 in addition. In particular, for instance, we have not
11 represented uncertainties in solubility in this model, and
12 we'll be adding that as a result of our discussion over the
13 last three days.

14 But I think it's our position, or our observation,
15 that this method of integrating over many different
16 alternatives is really an important way to evaluate the
17 importance of various factors in evaluating the potential
18 releases from a repository.

19 I'll stop there and turn back over to Bob Shaw to
20 give some summary comments.

21 MR. SHAW: We apologize for the handouts not paralleling
22 precisely the presentations here. I realize in some cases
23 that you do have information that's exactly the same as we've
24 viewed up here, and in other cases you don't. It's a

1 reflection of the fact that over the last three days, we were
2 working through this, and as a matter of fact, many of the
3 results that you saw up here will be changed as a result of
4 discussions that we had in the last few days. There are a
5 number of technical considerations in other areas where we
6 have made decisions to change things.

7 What I would like to do here is summarize
8 preliminary conclusions. I say preliminary for the reason
9 that I just mentioned. As a result of our discussions over
10 the last three days with my Methodology Development Team,
11 there are changes that we are going to institute into the
12 program, and as a result, some of the CCDF's and the
13 sensitivities that you saw there will undoubtedly change. We
14 will be putting together a report, our aim is to have it out
15 very early next year in 1992, hopefully in January, that will
16 go through all of the illustrations that you have here.

17 In addition, one of the items that was not included
18 in the CDF that you saw here is Carbon-14. It was on the
19 CDF's that were presented to us on Tuesday when we first saw
20 it. We decided that there were some aspects of Carbon-14
21 transport that were not properly accounted for in there, and
22 we didn't have time to reaccount for them, so Carbon-14 was
23 deleted from that list that you saw there. Nonetheless, it
24 will be in the final report as a part of the CCDF calculations

1 that we make.

2 So these conclusions are preliminary only in the
3 sense that in the next few weeks to a couple of months, we
4 will be fine tuning on those.

5 Our first conclusion is that radioisotope releases
6 are not very sensitive to the three heat transfer scenarios.
7 The first CCDF set that Robin showed you showed the hot,
8 moderate and cool scenarios, and it showed that for the case
9 of Selenium, which is our controlling radioisotope in our
10 CCDF, that it did not change very much as a function of those.

11 So our preliminary conclusion here is that it's not
12 highly dependent on which of those three scenarios, and in a
13 sense, that says it's not highly dependent upon whether you
14 have a hot versus a cold repository.

15 DR. DOMENICO: Excuse me. With regard to that, Bob, this
16 is Domenico, doesn't the hot scenario preserve the canister
17 longer at least?

18 MR. SHAW: Yes, it does, and that's part of our scenario.

19 DR. DOMENICO: But you still come up with this
20 conclusion?

21 MR. SHAW: That's correct. When we integrate all of the
22 features together and don't look at just that one feature,
23 this is the conclusion we come up with.

24 DR. DOMENICO: Thank you.

1 DR. NORTH: I wonder if you could give me some insight as
2 to why the Selenium isotope should be the leading term.

3 MR. MCGUIRE: It's the one with the highest amount and
4 high solubility in the waste, so it has both those factors
5 leading to large releases.

6 DR. NORTH: Is it dominated by one of Mick Apted's
7 scenarios such as wet-drip? Is there an easy way to think
8 through that issue?

9 MR. APTED: No, it's more the--all the top ones that
10 you'll see, Selenium, Iodine, and in some cases where
11 technetium has a high solubility, it's more related to the
12 fact that these are going to be controlled by their poor
13 dissolution of the waste form and, hence, those are generally
14 higher release rates than if they were controlled by the
15 actinides and Cesium, are controlled at much lower
16 concentrations right at the waste form surface. So it's not
17 so much that as, the drip versus the transport.

18 Surprisingly, for the values we used, the release
19 rates for those two very different modes of release are
20 generally very much in the same ballpark, maybe one or two
21 orders of magnitude for the same element compared between two
22 modes. So it has much more to do with the performance of the
23 waste form and the radioelement chemistry than it does with
24 the mode of release.

1 MR. SHAW; The question you're asking, Warner, is really
2 part of the work that we have in front of us for the next four
3 to six weeks, is to try and look at this whole system and say
4 why are certain radioisotopes controlling, can we identify the
5 particular steps or set of steps that lead to that conclusion.

6 DR. NORTH: Yes, I'll look forward to those insights.

7 DR. LANGMUIR: Bob, I presume that at the same time,
8 you're going to be looking at where the largest uncertainties
9 are in arriving at that conclusion.

10 MR. SHAW: That's correct.

11 DR. LANGMUIR: Or do you have some preliminary ideas on
12 that now?

13 MR. SHAW: That's right.

14 DR. LANGMUIR: At this point, you can't comment on that?

15 MR. SHAW: That's correct. So our system will be out in
16 early next year.

17 Actually, what people are saying here is that
18 there's an awful lot of insights that you can gain from that,
19 and some of these, the most sensitive ones we will be aiming
20 at, the controlling factors that Warner mentioned and the
21 greatest uncertainties that you're mentioning.

22 Second conclusion we come to is that waste package
23 behavior is a key ingredient in the model. The selections of
24 that Dan Bullen mentioned to you for waste package Weibull

1 diagrams are ones that he has selected, and he mentioned that
2 a number of times, it was his selection, but they are based on
3 technological deterministic kinds of calculations that have
4 been done in the past, and that's their basis. But we do find
5 that as you change those numbers, you do get significant
6 changes in the release rate calculations.

7 So the kind of waste package integrity lifetime that
8 is used as a part of this is a very key ingredient in this
9 model.

10 Next conclusion?

11 DR. DOMENICO: Excuse me.

12 MR. SHAW: Yes.

13 DR. DOMENICO: Doesn't that seem to contradict the first
14 statement?

15 MR. SHAW: Doesn't that seem to contradict the first--

16 DR. DOMENICO: The first conclusion, yes. I asked
17 obviously the hotter the repository, the longer lasting the
18 canister, but that doesn't seem to affect the radioactive
19 release rates. The second conclusion is the waste package
20 behavior is a key ingredient in the model. It seems to me
21 those are contradictory statements.

22 MR. SHAW: The waste package behavior is the key
23 ingredient in the sense that it determines the source term.
24 The three scenarios that we chose among in the list come to

1 the same conclusion as I have up there, that it's not very
2 sensitive to those three heat transfer scenarios. I don't
3 think those are self-contradictory. I think those are
4 independent assessments. We'll look at that question.

5 DR. LANGMUIR: Does that insensitivity also correspond to
6 all the other isotopes you mentioned, or only to the Selenium,
7 since the Selenium is most of the release?

8 MR. SHAW: Do we know the answer to that question, Robin?

9 MR. MCGUIRE: No.

10 MR. SHAW: We don't know the answer to that question yet.
11 We only looked at the controlling one at this point, or the
12 major one.

13 DR. NORTH: One of the scenarios I find most interesting
14 is a combination of pluvial climate plus migration of actinide
15 complexes with organics or in colloidal form. Have you
16 considered that? And what preliminary insights do you have on
17 the importance of that scenario?

18 MR. SHAW: Let me ask my crew that are here to support me
19 or disagree with this conclusion, but I'll make the following
20 statement. First of all, we do include pluvial conditions as
21 one of the climate conditions as we move out. Secondly,
22 organic complexing and/or colloidal forms are not included
23 directly as a part of our scenarios. Is that consistent?
24 Yes, that's where we are; yes, could be adopted, but is not

1 part of what we're doing now.

2 DR. NORTH: I will urge that in future iterations for
3 your exercise, that of the Department of Energy and other
4 players in the performance assessment game, let's take a look
5 at that one, please.

6 MR. SHAW: Okay. Next conclusion. Hydrology modeling is
7 very complicated, highly uncertain and likely to remain so.

8 DR. DEERE: No question.

9 MR. SHAW: That is not necessarily something that falls
10 out of the modeling, per se, that we've done, but it certainly
11 comes out of all the discussions of my Methodology Development
12 Team, and so you might call this my personal conclusion with
13 regard to the discussions and interactions that we've had.
14 It's not quantitative in the sense that the first two are.

15 DR. CANTLON: Bob, do you expect that to improve somewhat
16 when we get a ramp down and get some insight to data?

17 MR. SHAW: I think that when we get down and we get
18 better data, that will improve our confidence in certain
19 parameters, and I also think as we get down and get better
20 data, we'll find some surprises that will further complicate
21 maybe the scenarios or the various pathways and other things.
22 I think it's almost a net-zero-sum game, but I think we will
23 improve confidence in some areas, hopefully the key areas.
24 But I'm not confident that by getting down in there, that we

1 are going to dramatically improve our awareness of the
2 hydrology.

3 Despite the fact that we didn't link them very
4 strongly, hydrology and temperature are intimately linked.
5 Ben Ross talked about some of the features on Nitao's model
6 that could cause it to be warmer, colder, and so on and so
7 forth, and a number of those were linked with the hydrology
8 pathways.

9 And, finally, and maybe most importantly, integrated
10 performance assessment is vital. Just as we saw a couple
11 attempts right here at questions that would focus on a
12 particular scenario or a particular portion of what's going
13 on, waste package or the pathway that Warner North just
14 mentioned a moment ago, those are very interesting scenarios,
15 but they all must be taken into consideration with regard to
16 their likelihood and their probability, and only when we put
17 them together into a complete performance assessment can we
18 evaluate the relative importance of the various features that
19 we're talking about.

20 We could say that for the last item here, too. When
21 we get underground and we make better measurements, we're able
22 to take performance assessment right now and say, okay, if we
23 have a scientist who says I get underground, I'm going to
24 improve my uncertainty on a particular parameter, plug it in,

1 see what advantage that gives you, because we should be able
2 to make those kinds of estimates right now, or at least
3 reasonable guesses, and then one can come to some conclusions
4 about how much that does benefit you.

5 Even if, and we confess our performance assessment
6 model is rather crude, it's rather preliminary, it runs on a
7 PC, it doesn't need seven Crays', you know, and so there's a
8 lot of things that don't go into it, nonetheless, these kinds
9 of performance assessments do give us a sense of where we're
10 going and where we should be going.

11 So that completes our presentation, and all of us
12 are available for any questions you might have.

13 DR. NORTH: I'd like to add some rather obvious comments
14 I've made on previous occasions. I think you could add to
15 your last conclusion, in addition to vital, difficult, time
16 consuming and it will take numerous iterations for it to
17 become adequate. This is not something that can be done
18 simply by putting all the pieces together in an obvious way.
19 Because of issues like the linkage between hydrology and
20 temperature, it's going to be a long difficult process to get
21 the understanding of these complicated issues to the point
22 where you can get a consensus that we have them under control.

23 So let me not be unclear with respect to the
24 challenge I threw out to you for another scenario to be

1 considered, I applaud the work that EPRI has done in coming
2 this far and would urge that DOE proceed with its exercise
3 with all deliberate speed, and from these exercises, try to
4 derive conclusions as to what are we going to do about
5 temperature and what are we going to do about hydrology and
6 how important are these issues relative to many other issues
7 that might be raised such as the organic complexing of
8 actinides that I just threw out as something that I want to
9 make sure stays on the agenda.

10 MR. SHAW: Almost everything you said I agree with, but
11 I'd like to take a little issue with a couple points you made.

12 You talked about the effort for performance
13 assessment as being difficult and time consuming. There are
14 certain elements of that, but it's important that we don't
15 over emphasize that. There are really some very simplifying
16 assumptions that you can put into this. There are transfer
17 functions that one can use that allow you to go to the PC kind
18 of calculation; that we shouldn't over emphasize difficulty
19 and time consuming and use that as a way to prevent us from
20 moving rapidly ahead to do performance assessments
21 simultaneously with the more complicated modeling that is
22 going on. And I'm pretty sure you agree with me, and I just
23 wanted to point out that let's please not over emphasize the
24 difficulty or the time consuming that goes into performance

1 assessment modeling, especially over-view modeling.

2 DR. NORTH: I agree with you, lest there be any
3 uncertainty, but the point of my little speech is let's get on
4 with it, let's not wait.

5 MR. SHAW: That's where we are.

6 DR. DOMENICO: I'm surprised in your preliminary
7 assessments you didn't mention the role, the importance of the
8 source term, or is that locked up into the waste package
9 behavior?

10 MR. SHAW: Yes.

11 DR. DOMENICO: Because some of us believe that the source
12 term is so important that one day eventually we should have
13 another meeting like this just dealing exclusively with the
14 source term. Could you comment on that?

15 MR. SHAW: You could put your words into this conclusion
16 that says waste package. Source term is another way of saying
17 that same thing, so I totally agree with you.

18 There are questions out there?

19 DR. CANTLON: Audience questions?

20 MR. BUSCHECK; I agree with you about, you know, using
21 PC's for performance high level modeling. However, for basic
22 mechanistic modeling, you have to rely on a large mainframe,
23 because we did sensitivity analysis for grid spacing and we
24 found that if you use a coarse grid spacing, you could

1 completely preclude any boiling behavior because you greatly
2 increase the thermal dispersion and, therefore, you do not
3 build up an adequate amount of heat in near-field.

4 Another comment is that with regard to low
5 temperature evaluation, I'm positive that you've used
6 something like a continuum model which is a great homogenizer.
7 It makes many different scenarios look very, very similar
8 because it does not include the effects of non-equilibrium,
9 fracture flow wherein fracture flow can get to the mountain
10 under low thermal loads in less than an hour. So, therefore,
11 your model is not nearly sensitive enough at low thermal loads
12 to look at the consequences if you don't have a dry-out zone.

13 The other things is we've been--excuse me for my
14 nervousness, I'm going back to my old nervous ways in public,
15 but we have been under a QA program, we have benchmarked the
16 VTOUGH code extensively over a six year period of time. I
17 would never present publicly results of a code that's been
18 running for one and one-half weeks. I think that is very
19 important, especially a code which has admittedly stability
20 problems. I would never go forth and make conclusions with a
21 code that has such a short pedigree. And I'd like to find out
22 if there's been any benchmarking at all done against codes
23 which have a longer pedigree.

24 Another thing that I'd like to point out is that

1 Ben's model assumes a semi infinite repository versus our
2 three dimensional large scale model. You'll get substantially
3 different buoyancy effects when you consider the finite areal
4 extent of the repository versus one that's assumed to be
5 infinite in the third dimension. So, therefore, your edge
6 effects will be magnified by those boundary assumptions. I
7 think it's important to look at the dimensionality of the
8 problem before you make, you know, conclusions regarding that
9 impact.

10 We have been looking at high fracture scenarios that
11 are as high or higher than the ones Ben presented today, and
12 we do not see a far-field, significant far-field effect on
13 large scale convection. I've been on the phone with one of
14 our programmers and, hopefully, will have faxed information
15 that I didn't think I'd have time yesterday to present that,
16 hopefully, will clarify some of that. But I do still feel
17 that the far-field will be dominated by convection, and that
18 the very strong cooling effects that are being shown by
19 convection in the far-field I think will be shown not to be
20 that significant, especially when a model with appropriate
21 dimensionality is applied to it.

22 Also, the model I believe used a thermal
23 conductivity value of 3.3. We used the values from the RIB
24 for each and every hydrostratographic unit, all of which are

1 substantially less than 3.3. A high thermal conductivity
2 value will also lower repository temperatures, as will far-
3 field convection.

4 Thank you.

5 MR. SHAW: I think Tom's comments and points dramatize a
6 few points that I would like to, I guess, re-emphasize at this
7 stage.

8 First of all, in developing a model of the nature
9 that we've developed, we relied heavily on comments from
10 others with regard to the strengths and weaknesses of what we
11 have done. And that goes down to values of parameters,
12 concepts and modeling that we've put into it.

13 Secondly, Tom's comments with regard to some
14 programs that can't be run on PC's but have to be run on very
15 detailed systems, is to us a very important element of what
16 we're trying to do in our performance assessment. We rely
17 heavily on those detailed calculations on very fine grids that
18 other people are carrying out in order to give us input into
19 our simplified model. And we look for what we've called
20 transfer functions as a way of taking information of that
21 nature, putting it in some kind of a simplified form, whether
22 it's data, whether it's concepts, whether it's mechanisms,
23 whatever it might be, to include in a simplified model.

24 So I'm keying in on saying both of these approaches

1 have very important ingredients in the overall program. They
2 have to be integrated. We went through the last two or three
3 days, with our people, in getting to a point where some
4 individuals wanted to get it down into great detail and we had
5 to cut it off and say, no, no, that's too detailed for what
6 we're trying to do.

7 So we have to draw a line, we have to draw a cutoff,
8 and it's not so much we're saying it has to go on a PC, but a
9 PC gives us a nice guideline for saying, hey, let's not get so
10 complicated and into so much detail that we lose the broad
11 picture. And the broad picture for us is how do you integrate
12 these things, and how do you find out which, at this stage,
13 seem to be the major important features that you end up with.
14 What are the parameters which have great uncertainty, but
15 seem to influence the result. What are the models which seem
16 to influence it, and so on.

17 And to re-emphasize what Warner said, you have to go
18 back and look at it again and again and again, because as you
19 people are developing better details at the labs and at other
20 contractors for what's happening, we have to then implement
21 and integrate that into our performance assessment model.

22 DR. CANTLON: Other comments?

23 DR. ROSS: I just want to add something to what Bob said
24 to make sure there's no misunderstanding.

1 There are certainly differences in parameters that
2 went into my calculation versus Tom Buscheck's, very
3 substantial differences. And I really don't know; I think the
4 differences in the parameters are quite sufficient to explain
5 the difference in the results, although they may not be the
6 only explanation.

7 I would just add that what went into the EPRI report
8 was not the result of that modeling that I showed at the end.
9 That was just some new results by the way to show that the
10 things that we said, you know, some of our extreme scenarios
11 don't look like they're totally unreasonable. But they're not
12 the basis of the numbers that went into the rest of the model.

13 DR. CANTLON: Other comments from the audience? If not
14 then--

15 DR. DEERE: One comment.

16 DR. CANTLON: Oh, all right.

17 DR. DEERE: I would hope that the approach isn't such a
18 homogenizer that any information which is in-situ ground true
19 with respect to very permeable zone, impermeable zones, which
20 are not going to make any difference, that whether we go
21 underground or not, meaning whether we do or do not understand
22 the geologic and hydrogeologic framework really is not going
23 to change your conclusions. I would really question that.

24 MR. SHAW: I understand. I think it improves our

1 understanding and it improves our confidence, but I don't
2 think we should feel that just simply things are going to get
3 better and better and better. I think when we get underground
4 there's going to be other complications, other things we
5 hadn't thought about, a few surprises. I think we already
6 have situations where when we attempt to do hydrologic
7 modeling, for example, and then compare that to what happens
8 at other places like Rainier Mesa, we find it very difficult
9 to take those hydrologic models and come out with the
10 appropriate results that we see elsewhere.

11 And so it gives you question as to what extent are
12 we really capable of modeling, especially a multistratigraphic
13 system with a variety of heterogeneous systems, even within
14 the given stratigraphy. And so I'm not saying let's not get
15 underground, that it's not going to be of any benefit to us.
16 I clearly believe that it will be. But I don't think we
17 should be in the position of saying once we get underground,
18 that's going to solve all our problems, we come out with a
19 model and we'll be very confident in the model and in the
20 parameters and we'll make the calculations and we'll submit it
21 to NRC and they'll say oh, yes, of course, this is great,
22 stamp it and, you know, off we go. That's the only skepticism
23 I'm trying to lend into this particular discussion.

24 DR. DEERE: Yes, and I have the opposite; that if the

1 model can't handle the complexities, it's not the geology
2 that's wrong, it's the model that's wrong.

3 MR. WILDER: I'd like to just follow up on that slightly.
4 I think that I agree that once we get underground, there's
5 going to be a lot of things which are surprises. We saw that
6 at G-tunnel. But I think also we have a history, a track
7 record, if you will, at G-tunnel which has shown that the
8 hydrology as you get underground can be better understood and
9 that we can make tremendous strides in our understanding. And
10 so I guess I'm not quite as pessimistic as I think I hear you
11 expressing.

12 MR. SHAW: I accept that.

13 DR. CANTLON: Other comments? All right, if not then,
14 we're recessed and we'll try to get back here at 10:30.

15 (Whereupon, a recess was taken.)

16 DR. CANTLON: Could we reconvene? I'd like to ask Mr.
17 Cloninger to introduce the next speaker.

18 MR. CLONINGER: Mike Lugo of SAIC will present some of
19 the regulatory legislative considerations regarding thermal
20 loading. That will be followed up by Mike Voegele of SAIC who
21 will be presenting the overall conceptual considerations for
22 total system, this being the mined geologic disposal system
23 again, the performance of that system. Then I will follow
24 that with a very brief summary prior to the round table

1 session this afternoon.

2 DR. CANTLON: Very good. Thank you, Mike.

3 Then let's start off with David Jones. I understand
4 there was a motion that we change his name to Michael so we'd
5 have all Michaels on this morning. But since symmetry isn't a
6 requirement of the session, we'll proceed. David?

7 MR. JONES: Okay, as you all are aware, in the last two
8 days and into this morning, the board has been inundated with
9 technical information pertaining to various thermal loadings
10 on the repository. My purpose for being here is to give you
11 all an idea of the economic implications on the remainder of
12 the high-level waste management system, in addition to the
13 repository from the various thermal loadings.

14 I'd like to start off with a brief clarification of
15 the subject. Right now, it's stated as a comparative cost
16 presentation. It won't be a true comparative cost
17 presentation because there really hasn't been a detailed cost
18 analysis of various thermal loadings. All the system costs
19 that have been calculated to date are based on the SCP/CDR
20 design of maintaining 57 kW/acre. But what we do have are
21 some numbers that will give you an idea for cost implications
22 of some of the scenarios you've heard over the last couple of
23 days in terms of aging the fuel and varying the subsurface
24 area to achieve various thermal loadings.

1 In order to make an assessment of cost implications
2 of the thermal loadings, one would first have to have an
3 understanding of what the current life-cycle costs for the
4 system are, and then in addition to that, what the basis for
5 the development of those estimates are. So that will be the
6 first area that I'll talk about this morning.

7 From there, there's two basic approaches to
8 adjusting thermal loadings at the repository utilizing the
9 system. One is to work with the current system designs and
10 current system assumptions to achieve different thermal
11 loadings, and the other that I'll talk briefly about is
12 potential design changes with significant cost impacts on the
13 system.

14 This first section will be a presentation on the
15 current TSLCC estimates, as they're called. The TSLCC
16 estimates feed into the program's annual evaluation of the
17 adequacy of the fee. These estimates are taken from the last
18 published set of cost estimates for the system, which is the
19 1990 TSLCC addendum report. All the numbers are presented in
20 constant 1988 dollars, billions of 1988 dollars.

21 The TSLCC is comprised of five components;
22 development and evaluation, transportation, repository, which
23 is broken into first and second repository, MRS facility and
24 benefit payments.

1 In addition, we evaluate various scenarios within
2 the TSLCC in an attempt to try and bound the system costs for
3 purposes of fee adequacy analysis. And for this reason, we
4 evaluate both a single and a two repository system. In both
5 cases, in the single repository, it's the tuff repository at
6 Yucca Mountain; the two repository system, the first
7 repository is the Yucca Mountain repository, the second
8 repository is assumed to be a generic repository at an
9 unspecified location.

10 As you can see, the single repository estimates
11 currently is about \$26 billion, and the two repository system
12 is \$34 billion, with the majority of the costs increase there
13 due to the second repository itself.

14 Some of the underlying assumptions that feed into
15 this, and I'm not going to go over all the detailed
16 assumptions related to the cost development there, what I'm
17 trying to do is focus on ones that have some relevance to the
18 thermal loading issue.

19 First off, on the first repository, Yucca Mountain
20 repository assumptions, the design is based on modified
21 SCP/CDR and RCS designs for both the surface and subsurface.
22 The first repository in both the single and two repository
23 systems is assumed to begin in 2010. All spent fuel is
24 assumed to be emplaced as intact assemblies in the hybrid

1 disposal container that you heard Eric Ryder describe and
2 present the day before yesterday. That's a thin walled
3 stainless steel container, is the assumption for the cost
4 developments at this point.

5 The repository capacity is dependent on the system.
6 For the first repository, the single repository system, Yucca
7 Mountain, is assumed to accept and emplace all the waste and
8 the cost estimates there are based on 96,300. Of that, about
9 9,500 is high level waste, both defense and civilian high
10 level waste; the remainder being spent fuel.

11 The two repository system, the one that most people
12 are familiar with, the Yucca Mountain, capacity of 70,000 MTU.
13 Here, about 10 per cent of that is high level waste.

14 The subsurface layout in all of these costs for the
15 Yucca Mountain repository is based on maintaining that 57
16 kW/acre. Our cost model for the subsurface has been developed
17 in conjunction with the project office and their contractors,
18 and the basic methodology is that it makes adjustments based
19 on the age and characteristics of the fuel on an annual basis
20 to maintain a 57 kW/acre in the subsurface. This allows us to
21 do various scenarios of predicted repository start dates.

22 The MRS facility assumptions, the MRS costs are
23 based currently on a storage only facility. MRS facility for
24 these cost estimates that have been presented is assumed to

1 begin limited waste acceptance in 1998 with the full
2 capability MRS beginning in the year 2000. This is based on
3 the secretary's report, 90 day report.

4 The storage concept utilized and developed in the
5 cost estimates is assumed to be a dry cask storage concept.

6 Additionally, the MRS is assumed to service only the
7 first repository in the two repository system, and it is
8 assumed to service the single repository for the entire life
9 of the repository.

10 All spent fuel shipped from reactors was assumed to
11 go directly to the MRS before it goes to the Yucca Mountain
12 repository, and the Peak MRS facility capacity is 15,000 MTU,
13 with a linkage to the repository schedule limiting it to
14 10,000 prior to repository operations.

15 In the transportation area, the transportation cask
16 designs are based on reference ten year old spent fuel, and
17 the acceptance and transportation logistics from reactors to
18 the MRS facility was based on "oldest-fuel-first" acceptance
19 priority.

20 Development and evaluation component of the TSLCC
21 estimates include all the siting, preliminary design
22 development, testing, regulatory, and institutional activities
23 associated with a waste management system.

24 D&E costs also include the administrative costs for

1 oversight by the Federal Government of the high level waste
2 program. And also, under the design component of the D&E,
3 includes all pre-LAD costs for the transportation and
4 repository and MRS facility.

5 All right, from here I'd like to talk a little bit
6 about the cost implications of different thermal loadings if
7 you use the current system designs, working within the current
8 regime of designs for transportation system, MRS and
9 repository.

10 You've heard several options for achieving different
11 thermal loadings. The two primary ones which have been
12 addressed in this meeting fall under what I would say two
13 categories or two techniques of achieving different thermal
14 loadings within the current system design.

15 The first is customizing the emplacement of waste
16 packages, basically making adjustments to the borehole and/or
17 emplacement drift spacing to achieve a different thermal
18 loading; a smaller subsurface repository, giving you a higher
19 thermal loading, a larger giving you a cooler repository.

20 The second technique is one that I would classify as
21 levelizing or heat tailoring thermal output. One approach to
22 doing this is to use the MRS as a big surface storage facility
23 to allow the fuel to age to get it to a point where you've got
24 thermal output from the fuel at the time of emplacement giving

1 you the desired thermal loading at the repository, a lower
2 thermal loading.

3 Under customizing the emplacement of waste packages,
4 again, working with a smaller subsurface to give you a higher
5 thermal loading, and a larger subsurface to give you a lower
6 thermal loading. What we've done is we've gotten some numbers
7 and worked with Eric Ryder on his numbers. You saw him give
8 several scenarios of kW/acre and some of his presentations and
9 his videos.

10 What we've done is we've taken some numbers from him
11 on the number of panels used, et cetera, and we've calculated
12 some mined volumes for each for three target thermal loadings;
13 30, 57 and 80 kW/acre.

14 At 30 kW/acre, your mined volume is approximately
15 353 million cubic feet. 57, you're at about 300 million cubic
16 feet. And 80 kW/ace, you're at about 255 million cubic feet.
17 This includes the common areas. These are very rough
18 calculations. These are not done to the precision that the
19 numbers that are in the TSLCC are.

20 So what you're seeing there, at the reference 57
21 kW/acre, you're at about a subsurface cost of \$3.1 billion.
22 Going to the other two extremes, you're going up or down 400
23 million respectively to get to that different thermal loading.

24 Another point to make about this approach is that

1 the only significant impact on your system cost is the
2 subsurface costs. You're not impacting your transportation
3 costs significantly. You're not impacting MRS facility or
4 repository surface facility costs. You're achieving different
5 thermal loadings with just adjustments to the subsurface.

6 Now, Eric did have a couple of different approaches
7 tied in with his, one of which is aging the fuel in the 30
8 kW/acre scenario, and also he's assuming a levelized heat rate
9 coming into the repository where we assume oldest-fuel-first.
10 And the two next slides will address both of those in
11 addition.

12 Providing long-term surface storage at the MRS
13 facility prior to emplacement to achieve a lower thermal
14 loading, we have done a case at the request of the MRS
15 Commission where we looked at an MRS starting on time, a full
16 functioning MRS starting in 2000, and a repository which was
17 basically delayed about 45 years. The idea here is they
18 wanted to get an idea of the cost estimates for a repository
19 emplacing spent fuel at a minimum of 50 years of age.

20 What we found in doing this case is that the MRS
21 operating costs increased \$2 billion for the single repository
22 system, on the order of \$1 1/2 billion for the two repository
23 system. In addition, your D&E costs are going to go up about
24 \$2 billion for both cases. The main reason here is due to the

1 fact that you're increasing the period of time over which the
2 government administration of the program has to be accounted
3 for, and you're lengthening some of the other development
4 programs for the other pieces of the system.

5 A key point to make on this is that it also assumes
6 an unconstrained MRS facility which accepts basically the
7 entire inventory of spent fuel prior to its being shipped to
8 the repository.

9 In this case, there would be, again, no significant
10 impact to the transportation system. If you're just going to
11 use your MRS facility to do the aging, for the same area of
12 repository for an on time repository, you can achieve a lower
13 thermal loading without any significant impact on your
14 repository costs also.

15 Now, in this particular case, it's providing about
16 45 years worth of storage. Eric presented a case where I
17 think his 30 kW/acre relied on 30 years of additional storage.
18 So this gives you an idea that this impact would go along
19 with the \$400 million savings that you saw in the previous
20 slide in the particular case that Eric presented.

21 An additional option for achieving of different
22 thermal loading which warrants further consideration, I would
23 put this under the technique of levelizing or heat tailoring
24 at the MRS facility, is that by using the MRS to provide you

1 with a level heat pattern of fuel coming into the repository,
2 you can achieve--the MRS system study found that producing a
3 level pattern of annual average decay heat emplaced at the
4 repository could be accomplished with an MRS facility with a
5 capacity between 20 and 25,000 MTU, even accepting oldest-
6 fuel-first from reactors.

7 Right now, the TSLCC estimates are based on a
8 maximum capacity MRS of 15,000. So what you're talking about
9 increasing about 10,000 MTU at the MRS facility in order to
10 achieve that, and that was another one that Eric relied on
11 another approach that he relied on as achieving a levelized
12 heat pattern. So to accomplish this, you're talking about an
13 extra \$500 million increase in the MRS costs for a 10,000 MTU
14 increase.

15 The next area I'd like to talk about is some of the
16 potential design changes with significant cost implications on
17 the system. All the previous discussion that you've heard is
18 based on using the current system designs. Obviously, if we
19 go to a different thermal loading, if we target a different
20 thermal loading, there could be significant design changes
21 that have ramifications throughout the entire system. I'd
22 just like to point out a few of them and in some areas, I can
23 address cost issues.

24 Repository, in the waste package area, changes in

1 materials; again, I pointed out we're relying on a stainless
2 steel waste package right now in the estimates that were in
3 the 1990 TSLCC addendum. Making a simple change in the
4 materials, we did an analysis in the MRS system study where we
5 looked at a copper waste package, the same design, the same
6 hybrid container, 3PWR, 4BWR. The stainless steel waste
7 package has a unit cost of 32,000, is what we're assuming.
8 Going to the copper, I think it was a \$73,000 unit cost on
9 that. So you're talking about almost a \$2 billion increase in
10 the single repository case in waste package just from a simple
11 material change. Well, I won't say simple, but just from
12 changing the materials.

13 In addition, you can have significant changes by
14 changing the capacity, or we heard before about reducing the
15 number of assemblies in a waste package and resulting in more
16 waste packages. So waste package has some significant
17 implications.

18 There's also been some talk about a universal cask
19 or a multi-purpose package. That has some significant
20 implications on the MRS transportation and repository
21 throughout the entire system, as well as D&E. Any of these
22 that are listed here under design changes will impact your D&E
23 costs because you're going to have to go back and do some
24 redesign, preliminary redesign work.

1 There has not been any attempt to try and quantify a
2 lot of these just because of the fact there's too many
3 variables, too many options. It's one thing that I would
4 point out that's very important in terms of when you're
5 looking at all the options at the repository, costs have to be
6 a consideration. They are not probably the primary factor at
7 this point in time, but they have to be a consideration, and
8 in terms of not just on the repository, but the entire system.

9 Another area is subsurface layout. Again, all the
10 discussion that has been to this point in this presentation
11 has been on basically the same SCP or layout. If you go to
12 horizontal emplacement or drift emplacement, there there's
13 cost implications that have not really been assessed with the
14 current system.

15 Surface facilities also; waste handling building,
16 hotcells. We've heard about ventilation. If you're going to
17 add additional ventilation, you're going to need some support
18 facilities on the surface as well as considerations on the
19 subsurface.

20 At the MRS facility, again, the storage concept,
21 getting back into the issue of achieving a levelized heat rate
22 at the repository. If you're going to go with that approach
23 and you decide that you want your MRS to basically be a heat
24 sink, that you can adjust what the annual average thermal

1 delivery to the repository is. With a storage concept, a dry
2 cask storage concept doesn't optimally do that for you, going
3 to a modular vault where you have less repetitious handling of
4 the spent fuel; having to pull in numerous casks versus being
5 able to go to different vaults is a more optimal design and
6 you have cost implications there.

7 Total storage area and also extended operating life
8 implications. If you go to a long MRS surface storage,
9 there's some extended operating life implications that can
10 have some cost ramifications also.

11 Under transportation, again, the cask is the main
12 concern here, with the materials, capacity and also on a
13 universal cask, how you're going to handle a multi-purpose
14 type of package.

15 I'll try and summarize some of this. If you're
16 going to stick with utilizing the current system designs for
17 the waste management system, in terms of the economic impacts,
18 the approach that has the least impact on the entire system is
19 making the adjustments in the subsurface only to achieve your
20 different thermal loading. Whether this can be done with the
21 quantity, the type and characteristics of the fuel

22 you're going to be receiving, that gets into whether
23 you're going to have to use your MRS facility as a heat sink.

24

1 But basically making the adjustments in the range of
2 what we've heard throughout the three day session so far,
3 you're talking on a ballpark estimate of about \$400 million,
4 which represents a 1 per cent increase or decrease in the
5 total system costs.

6 At the MRS facility, if you go to long-term surface
7 storage, what you're talking about doing there, depending on
8 the system, is increasing the system cost by 16 per cent to 10
9 per cent, based on the current estimates and based on a dry
10 cask storage design.

11 So, here, you have more of an impact. Also, if
12 you're using this in conjunction with the adjustments to the
13 subsurface, you've got to account for that because that can
14 either increase or decrease the total impact on the system.

15 And, finally, the MRS facility utilizing that to
16 achieve a level pattern of annual average decay heat, going to
17 an inventory of about 25,000 MTU would represent a \$0.5
18 billion dollar increase in your MRS operational costs without
19 any significant impact on the remainder of the system.

20 So this is what I've been able to pull together for
21 you today. Obviously, there's numerous scenarios that could
22 be costed out. The problem is trying to determine which ones
23 are feasible, which ones aren't feasible. We did not do or
24 undertake an intensive cost analysis. As I pointed out, all

1 the system costs to date are based on 57 kW/acre. At some
2 point, it would be very worthwhile doing a cost analysis to
3 try and get some trade-offs between some of the scenarios
4 you've analyzed over the past few days.

5 DR. CANTLON: Okay, thank you. Discussion? Question?

6 DR. DEERE: Yes. When you use the word "large cost
7 implication," you're including savings as well as increases?

8 MR. JONES: Yes.

9 DR. DEERE: Because obviously, when you start looking at
10 the repository variables that you haven't yet costed out,
11 different orientations, different size, reduction in volume by
12 50 per cent, things such as this are not going to be increased
13 costs.

14 MR. JONES: That's right.

15 DR. DEERE: They're going to be decreased costs.

16 MR. JONES: That's right. I have not tried to quantify
17 whether large means large increase or large decrease.

18 DR. DEERE: Thank you.

19 DR. DOMENICO: When you estimated the cost of increasing
20 the size of the repository, did you just take into account the
21 cost of removing the rock, or did you take into account the
22 added investigations, the cost of the added investigations?

23 MR. JONES: You're talking about on the single repository
24 case?

1 DR. DOMENICO: On the single repository.

2 MR. JONES: We included additional site characterization
3 costs. We have some very basic assumptions in there in terms
4 of expanding, for that repository expanding into the northern
5 block. You've seen some diagrams I guess in the last two days
6 about the additional areas that have the most promise in terms
7 of expanding into. And we've included additional costs for
8 site characterization of that additional block. We've
9 included costs for an extra exhaust shaft into that area,
10 costs for extending the mains up into the northern block. So,
11 yes, there are additional costs accounted for.

12 DR. DOMENICO: Thank you.

13 DR. CANTLON: Other questions or comments? If not, we'll
14 proceed then to Mike Lugo, SAIC.

15 MR. LUGO: Before I start, let me just carry on this
16 thing about names we were talking about before, where Mick
17 Apted talked about his twin brother, Nick. I just want to
18 reassure that even though this says Miguel and your schedule
19 says Michael and it says here Mike, my mother did not have
20 triplets. Okay? She did have three kids, though.

21 With that out of the way, what I'm going to be
22 discussing with you today are the regulatory considerations
23 with high or lower thermal loading, and I'm going to touch on
24 the key regulatory requirements that relate to this thermal

1 loading issue, also touch on the concept of licensability and
2 the compliance approach. This part of my presentation I sort
3 of view as a lead-in or setting the stage for the next
4 presentation that Mike's going to give where he's going to
5 give more detail into the actual technical requirements that
6 are in the regulations.

7 I'm also going to touch on the legislative
8 implications to expand, and some of the things that they just
9 finished talking about where if you wanted to use the MRS
10 facility for extended storage and for cooling of the waste
11 before you put it into the repository.

12 In 10 CFR 60, there are primarily two requirements
13 that I guess the first one would be the key driver for this
14 thermal loading consideration, where in 60.133(i), it
15 basically says that you must account for the predicted thermal
16 and thermomechanical responses in the design of your facility
17 in meeting your performance objectives. And also you must
18 include this in your license application, this anticipated
19 response of the rock.

20 The performance objectives that are called out in
21 133(i) are basically, in the next couple of viewgraphs, for
22 the preclosure time period, we have 111(a), which basically
23 invokes the radiation protection requirements of 10 CFR 20 and
24 also 40 CFR 191, as well as the waste retrievability

1 requirements in Part 60.

2 For the postclosure period, we have the total system
3 performance requirement, which again also references 191. We
4 also have the requirements of the waste package containment
5 for 300 to 1,000 years after waste emplacement, the 10 to the
6 minus 5th release limit per year of the engineered barrier
7 system, as well as the 1,000 year ground water travel time
8 requirement.

9 Now, there's a lot of requirements that basically
10 roll up or support demonstration or compliance with these
11 performance objectives and that's what Mike is going to get
12 into later on, he'll go into a little bit more.

13 What I wanted to say, though, about these
14 requirements is that basically the regulations don't
15 necessarily point to any preference between one thermal
16 loading or the other. It basically says here are the
17 requirements, you are the applicant, you have to design the
18 system and you basically have to show compliance with the
19 requirement. So, therefore, you don't really have any lesser
20 or greater requirements imposed on you as a result of the
21 thermal loading that you do choose.

22 What it does and it could affect would be the
23 demonstration of compliance. And what I mean by that is, and
24 since everybody else has been referring to Tom Buscheck's

1 talk, I might as well do the same thing, where we talk about
2 for the different thermal loadings, you could have a different
3 drying effect. Well, obviously, if you drive away the water
4 with a higher thermal loading versus not driving it away with
5 lower thermal loading, that could be a different consideration
6 in how you choose to demonstrate compliance with the
7 requirements. So that's what I mean and I'll get a little bit
8 into that later.

9 But before I get into that, I wanted to get
10 philosophical here for one viewgraph at least. This whole
11 concept of licensability, a lot of people seem to think that
12 regulatory compliance is a magical thing. It's very, very
13 much tied to technical considerations. And basically,
14 licensability is largely a factor of how you go about
15 demonstrating that the technical requirements have been
16 satisfied.

17 Admittedly, there are also procedural requirements
18 that you have to think about when you go to licensing, but in
19 the form that we're talking about here, which is thermal
20 loading, this is really what we have to think about.

21 Now, you know that when you submit a license
22 application to NRC, the reviewer is going to continue to ask
23 questions, and we know that based on history, until he or she
24 is satisfied that these requirements have been met. And a few

1 of the things that an NRC reviewer looks at when they look at
2 a license application is, you know, basically these are four
3 key items, how much data do you have available that supports
4 your technical conclusions, also what kind of data is that, is
5 that QA pedigreed or not, or is that something you just took
6 off the shelf that you haven't qualified, for example. Also
7 the precedence; is there any precedence to what you're trying
8 to propose to the NRS, has this been done before, is this a
9 first of a kind design that you're proposing. Also
10 complexity. Obviously, like you say, in a Cadillac you've got
11 more things to go wrong, so the more complex you have a
12 system, the more defense I guess you have to have for that.
13 So basically, the simpler system would be simpler to defend.

14 So with all that in mind, obviously a design with
15 fewest uncertainties and the least controversy is likely to
16 receive a more favorable review from the NRC.

17 Now, with that as a philosophical backdrop, with
18 respect to how that affects demonstrating compliance with the
19 regulations, just as an overview here, for the preclosure time
20 frame, demonstration of compliance is mostly dependent on
21 design of the engineered system. And I put in here also
22 operating procedures, and I know we haven't touched on that
23 too much except for I believe Eric Ryder's viewgraph which
24 showed the decay of the radiation over time, but obviously if

1 you use newer fuel, you have higher radiation potential so,
2 therefore, here is where you have things like a laver coming
3 into consideration. You would maybe need more shielding, you
4 would need unit operations. Your procedures that affect those
5 need to be different.

6 So basically that's something that in our view it's
7 within reasonably available technology. It's been done
8 before. It's not something, you know, in general, people talk
9 about the repository as being the first of a kind, but when it
10 comes to preclosure, it's really not the first time it's been
11 done before. So from a regulatory perspective, we really
12 don't see any major glitches or problems with meeting the
13 preclosure requirements.

14 As far as postclosure is concerned, obviously, these
15 requirements require an understanding of the EBS as well as
16 the geologic setting. And just because of the time periods
17 involved in the postclosure time frame, we're talking about
18 10,000 years and maybe further into the future, that in itself
19 causes certain kinds of uncertainties aside from this whole
20 thermal loading issue. This is just one aspect of it. And
21 obviously the amount of regulatory uncertainty that we have
22 when we go into licensing is going to be dependent on how much
23 and what understanding we have on that.

24 And as has been pointed out by the technical

1 speakers over the last couple of days, these uncertainties we
2 believe are going to be addressed and I think reduced to a
3 reasonable level during site characterization, waste package
4 testing and performance confirmation.

5 Now, I want to bring something up here which I was
6 sort of surprised hasn't been brought up yet by the other
7 speakers, and that is the whole issue of uncertainty. I think
8 what a lot of people are talking about are really unknowns.
9 At this point in time in the program, we haven't gone
10 underground, we haven't done the full testing program, we
11 still don't know certain things. It doesn't mean that we're
12 never going to know it; it just means that we have to go out
13 and get that information. We know what we have to obtain. We
14 just have to go out and get it. And I guess there maybe is
15 some residual uncertainties, but I guess you may have heard
16 from some of the speakers over the last couple of days about
17 some areas that have higher uncertainties whether it's higher
18 or lower thermal loading, and I think a lot of that is driven
19 by just the fact that we just don't have the information yet.
20 We just haven't done the testing program.

21 Okay, I'm going to change gears here for a second
22 and talk about legislative implications. And as I said
23 before, what I'm trying to home in on, and you've heard
24 various ways, and Dave touched on some of those and so have

1 the speakers over the last couple of days, on various ways to
2 reduce thermal loading in the repository. A lot of those have
3 to do with engineered type arrangements. The one I'm going to
4 address is whether or not you decide to cool the fuel off
5 site, and in my case here, at an MRS facility.

6 Now, as we all know here, the NWPA in its amendment
7 actually set the federal policy on geologic disposal, and it
8 did include a schedule of the program activities, even though
9 it was at a very high level. Implicit in that schedule and in
10 the NWPA is an emphasis on early or timely disposal, not on
11 storage. And I know Carl Gertz alluded to this in his opening
12 remarks, and basically that's the, I guess, the torch that DOE
13 has been carrying over the last few years to try to get to
14 that timely disposal.

15 Now, I used Congress here just so I wouldn't blame
16 DOE or TRB or the state or anybody else, I figure there's
17 nobody from Congress here. Assuming that we want to go and
18 emphasize extended storage at an MRS rather than disposal,
19 there's obviously various things that need to be done to the
20 regulation, and I just picked out three which I believe are at
21 the top of the list, and one is de-linking the MRS from the
22 repository.

23 As you know, right now in the regulation, the NWPA,
24 there are certain provisions there, for example you cannot

1 select a site for an MRS until you have recommended a site for
2 the repository to the president. Also, it talks about you
3 cannot construct an MRS until you've received construction
4 authorization for the repository. And there's at least one or
5 two other ones in there.

6 The second one on the MRS capacity limits, right
7 now, the NWPA limits the MRS before you start waste
8 emplacement to 10,000 metric tons per year. And after you
9 start waste emplacement at the repository, limits it to
10 15,000. Or is that total? It's per year? Total; that's what
11 I thought, okay.

12 Also, right now, the NWPA only authorizes DOE to go
13 for one MRS. And obviously if you did not get revision to
14 capacity limits and, therefore, you wanted to have multiple
15 MRS's, that would be another area that would need to be looked
16 at.

17 Now, to turn to the side here and sort of close the
18 loop now, assuming that these changes in the NWPA were brought
19 forth and, therefore, it had resulted in an emphasis on
20 extended storage rather than disposal, there are some impacts
21 that we've got to consider to the Civilian Radioactive Waste
22 Management Program and actually to the nuclear industry in
23 general. And one is that basically it would take the focus
24 away from finding a permanent solution for the high level

1 waste problem, which was the whole underpinning for the NWPA.
2 And indirectly, obviously, you would see that there could be
3 an impact on getting new reactor licenses or extending the
4 present licenses just due to the fact that there is no
5 permanent solution yet.

6 And as a side impact, I put on here the fact that if
7 you were to now use the MRS for extended storage, and when I
8 say extended, I'm talking about long time periods, 50, 100
9 years or whatever, more so than is presently in the reference
10 Waste Management System concept, I would say that since
11 licensing is very much of a public forum and public views are
12 very much part of the licensing process, where the MRS may end
13 up being a harder facility to license if that were the case,
14 primarily because of the fact that the public would view that
15 as a de facto repository, or could view it.

16 So having said all that, this is what I would like
17 to leave you with today, and that is that the regulatory
18 requirements in themselves do not vary depending on the choice
19 of thermal loading. They're there and you have to meet them.
20 It's up to the applicant to show compliance with them. Also,
21 the regulatory uncertainty, and that is licensability, is
22 primarily a factor of the defensibility of technical
23 conclusions. I know a lot of people like to separate
24 regulatory and technical, but they're really very much

1 intertwined.

2 Now, for the preclosure operations, a higher thermal
3 loading is not expected to cause any regulatory concern. Like
4 as I mentioned before, we believe that much of that, if not
5 everything, is really within reasonable available technology.
6 For the postclosure performance, and I don't think that this
7 is mainly due to thermal loading, but just the whole time
8 period that we're talking about, which is 10,000 years, that
9 the level of regulatory challenge will depend on the extent to
10 which the testing program could reduce those uncertainties or
11 address them. Or like I said before, just obtain the unknowns
12 that we're talking about.

13 And then as far as the legislation is concerned, an
14 emphasis on cooling of waste at an MRS facility would require
15 some legislative initiatives as well as re-focusing of the
16 whole program.

17 DR. CANTLON: Okay, thank you, Mike. Comments or
18 questions from the board? From the audience?

19 DR. RAMSPOTT: I just had a question, Mike. From your
20 viewpoint, would the idea of cooling the waste in place during
21 the 50 year retrievability period have any implication as far
22 as either legislative or regulatory?

23 MR. LUGO: No. Is that quick enough? I've been to
24 enough licensing hearings, I just say yes or no if that's the

1 answer.

2 MR. SMITH: Jay Smith, Edison Electric Institute. Mike,
3 do you foresee any troublesome aspects of repository licensing
4 resulting from the impact of licensing precedence of nuclear
5 power plant applications?

6 MR. LUGO: I assume you're talking about the preclosure,
7 since postclosure is not really something that's been done
8 before as far as nuclear power plants.

9 MR. SMITH: No, not necessarily. We're dealing with a
10 geologic environment and some nuclear power plant licensing
11 applications have been greatly troubled by geologic
12 environments, faults and seismicity in particular, so I was
13 just wondering if you see any precedence that might somehow,
14 through the licensing process, be applied to the repository
15 that might be troublesome.

16 MR. LUGO: I can't really think of any that will be
17 troublesome. I can hopefully think of some that would be
18 advantageous where, like I said before, a lot of the
19 operations and things like that that we're talking about at a
20 repository have been done before at spent fuel handling
21 facilities and fuel handling buildings and things like that.
22 And the fact that we want to always make the differentiation
23 between the fact that a repository is what you would call a
24 passive system versus an active system, which has a lot

1 different types of, we will call, risks involved.

2 I guess the answer is no, I really can't think of
3 any off the top of my head that would be negative.

4 DR. CANTLON: Other questions? Okay, thank you, Mike.

5 The next speaker then is Michael Voegele, also SAIC.

6 DR. VOEGELE: Members of the board, ladies and gentlemen,
7 staff, good morning. It looks like it's become fashionable to
8 start these presentations by making some reference to
9 something to do with your name. I understand there's several
10 people in the audience who have used the term "butchered" with
11 respect to the way my name is pronounced. I apologize. We've
12 been in the United States for a very long time. My great
13 grandfather didn't even speak German, so I can't do much to
14 help you with that. I can't explain why they haven't gotten
15 rid of the extra "e".

16 DR. DEERE: There's two extra "e's".

17 DR. VOEGELE: No, no, there's only one. The last "e" is
18 a diminutive; that's supposed to be there. That's supposed to
19 be there; it's the umlat that fell over on its side that
20 bothers most people.

21 Okay, I started the last presentation that I gave to
22 this Panel by making reference to suggestions that you observe
23 the reactions of the Structural Geology and Geoengineering
24 Panel to see what they were doing getting ready for another

1 fire hose treatment, and they look quite a bit more relaxed
2 this morning and I think it's got something to do with the
3 size of the pile of viewgraphs. Quite a bit smaller than they
4 normally get from me, but I want to caution you don't relax
5 too soon, there's a lot of words on these viewgraphs and we
6 have a little bit less time than we normally have.

7 Let me make one final introductory remark. I also
8 had a nightmare on Tuesday evening, and it has to do with a
9 number that I gave in my presentation and a number that Eric
10 Ryder gave in his presentation. And Eric's sleight of hand
11 not withstanding, which is sort of like he had the hand over
12 the viewgraph, I did say that there were 2,200 acres in the
13 primary area, and Eric's viewgraph showed 1,850 acres. And
14 you may remember that I mentioned something to you to the
15 effect that the people who were doing that modeling were
16 dealing with uncertainties in the orientations of the faults
17 that bounded the block, and some estimates of how much usable
18 area might physically be there with respect to stand-off
19 distances from faults.

20 That 1,850 acre number is the number that takes what
21 Dr. Chip Mansure from Sandia thought was a credible limit to
22 the uncertainty in that 2,200 acre, and he just subtracted it
23 out, so the number Eric used was 1,850, which takes out all,
24 what was believed at that time to be a credible level of

1 uncertainty in that area.

2 So from that perspective, Eric's number is probably
3 a better number, but it is a much more conservative number
4 than the number I was using.

5 Okay, I've been asked to talk about conceptual
6 considerations for total system performance this morning. I'm
7 going to do that in the context of the performance objectives
8 of 10 CFR Part 60, and I'm going to try to use that as a
9 vehicle to tie together some of the information that has been
10 presented by the presenters over the past couple of days, so
11 you'll see a slightly different approach I think to what
12 you've heard from some of the other people.

13 My objectives are to examine some of the
14 implications of higher and lower thermal loadings in the
15 context of conceptual considerations related to total system
16 performance. And as I noted, I'll do that by discussing
17 relationships between the physical system components, the
18 technical uncertainties, those six categories that we had
19 speakers address over the past, yesterday I guess it was, and
20 then the Part 60 technical criteria as well.

21 The approach we're going to use is to spend a little
22 bit of time describing some of the thermal design related
23 aspects of the 10 CFR Part 60 technical criteria. And I'm
24 going to primarily have a postclosure emphasis on the criteria

1 that I talk about. The reason, I guess my choice, it was, you
2 know, rather than take an abstract concept, I settled on
3 postclosure total system performance and the performance of
4 the particular barriers as well to be the focus.

5 I will say some things about--identify some of the
6 technical criteria that deal with preclosure concerns, but the
7 emphasis of the talk will be on postclosure.

8 I'd like to do that by describing, start off by
9 describing some of the relationships between the 10 CFR Part
10 60 performance objectives that Mike Lugo just had on his view
11 graph, to 10 CFR Part 60 technical design criteria and the
12 MGDS system components. And I probably should have just said
13 repository system components there, although it does include
14 the natural barriers.

15 And I'd like to summarize some of the geomechanical,
16 hydrogeologic, geochemical, mineralogical, waste form
17 materials and biological resource technical uncertainties that
18 come about when evaluating these performance objectives.

19 I selected a number of criteria of Part 60 to begin
20 this discussion with, and I wanted to do that, of course, in
21 the context of how they're related to thermal loads. I don't
22 want to leave anybody in the audience with the impression that
23 this is a strictly correct flow-down of the way the pieces of
24 the regulation fit together. However, it is a pretty good

1 representation of the sorts of things that you have to
2 consider from the design perspective when you're addressing
3 the performance objectives. I don't think I missed anything,
4 but I will not defend this as being a complete comprehensive
5 capturing of all the Part 60 requirements that somebody might
6 want to address when they're dealing with thermal criteria.

7 There are several sections in the content of the
8 license application, that's 10 CFR 60.21, that clearly
9 indicate that thermal issues are important in the license
10 application, not the least of which is 60.21(c)(1)(i)(F),
11 where we are asked to discuss the anticipated response of the
12 system to the maximum thermal loads that will be imposed on
13 the system.

14 Likewise, there are sections in 10 CFR 60.21 where
15 we will be doing comparative evaluations of the major design
16 features of the repository system. We've spoken with you
17 about that on many instances. Certainly, the concept of the
18 thermal loading features of the repository are relevant there.

19 Also, and this is one that really has a preclosure
20 perspective, from my way of thinking of it, there's a
21 requirement in 60.21 to include a discussion on the features
22 that would be included in the repository design to facilitate
23 closure of that system. And certainly stability of the
24 excavations would be a typical component that you would

1 address under that kind of a feature, and as Larry Costin
2 showed you, that there are relationships between preclosure,
3 stability type questions, and thermal loading.

4 The performance objectives themselves I've chosen to
5 capture that have a relationship to thermal loading,
6 60.111(b)(1), we're directed to preserve the option for waste
7 retrieval in our system. That not only is a 10 CFR 60
8 requirement; that's a specific requirement of the Waste Policy
9 Act.

10 Now, somebody asked me a question the other day, and
11 this is an appropriate time to point that out. I have asked
12 several of the NRC staff members who were instrumental in the
13 development of 10 CFR Part 60 if there was a consideration
14 underlying 60.111 relative to the economic value of this
15 material. We'd have it underground for 100 years and we might
16 want to get it back out for economic reasons. They all assure
17 me that that is not the case; that this is simply a
18 requirement to make sure that after we've done our performance
19 confirmation program and looked at the way this system
20 responds, if we are unable to continue to validate the
21 conditions of the license that we're given for emplacing
22 radioactive waste, we could probably be asked to pull that
23 material out, and that's the source of the requirement for
24 retrieval. It really is a postclosure concern.

1 60.112, the overall system performance objective,
2 that is the part of 10 CFR 60 that incorporates the EPA
3 standard of 40 CFR 191 with some additional information, and
4 it's the kind of thing that you saw presented in the EPRI
5 presentation this morning.

6 60.113(a)(1), when you get into the 113 section of
7 10 CFR 60, you're talking about a section that's entitled
8 performance of particular barriers after closure. These are
9 the pieces of the regulation that deal with the defense in
10 depth and the redundancy and how you provide additional
11 assurance that the system will in fact meet this requirement.
12 And those are, in fact we've talked about them as well this
13 morning, the substantially complete containment, which is the
14 300 to 1,000 year waste package lifetime, and the gradual
15 release rate, which is the 1 part in 100,000 release rate
16 criterion that we have.

17 There also is a piece of the regulation in 60.113
18 that puts a limit on the pre-waste emplacement groundwater
19 travel time of 1,000 years.

20 Now, I don't have it specifically on this viewgraph,
21 but the items that fall under 60.113 are subject to, or I
22 should say DOE is allowed an opportunity to propose an
23 alternate for those particular performance objectives. But at
24 this point in the program right now, we are focusing on trying

1 to meet those particular objectives.

2 I've included in this figure three of the siting
3 criteria that are in 60.122, and the first one is a favorable
4 condition. And a site would be considered favorable if you
5 had minimal thermal impacts on the minerals present. There
6 are two potentially adverse conditions that are relative to
7 thermal loading, and they are conditions that would require
8 complex engineering to deal with, and certainly there could be
9 thermal situations that would require complex engineering
10 solutions.

11 Finally, there's a potentially adverse condition
12 where you would have geomechanical properties that would not
13 allow you to develop stable openings. So those are the
14 performance objectives and three of the associated siting
15 criteria.

16 The real focus of my talk is going to be on this
17 slide and the following slide. 10 CFR 60 also includes design
18 criteria for the geologic repository operations. Those design
19 criteria are included in 10 CFR 60 and they're generally in
20 the context of the things that you do in engineering design to
21 try to make the system meet the performance objectives.

22 I want to skip 60.130. I'll come back to that one
23 at the end. And I want to just discuss some of the ones I've
24 highlighted here.

1 60.131(b)(9) basically is a requirement to be in
2 compliance with mining regulations. And certainly thermal
3 effects in the preclosure, operational kind of considerations,
4 as well as temperatures that you would expect people to work
5 in, are of a concern there.

6 When you get to 60.133, we're tending to get more
7 into postclosure concerns, although there are some preclosure
8 concerns at that point in time. In 60.133(a)(1), the DOE is
9 directed to look at the geometry, the orientation, so forth,
10 of the underground facility, as well as the engineered
11 barriers of the waste package, and so forth. They need to be
12 designed in such a manner as they would contribute to
13 isolation.

14 Likewise, in 133(b), the facilities, the underground
15 facilities need to be designed such that there's sufficient
16 flexibility that they can deal with conditions that are
17 encountered underground.

18 Once again, we have a requirement for a design to
19 permit retrieval, likewise, one to ensure operations can be
20 carried out reasonably and the retrievability option
21 maintained. Those are very, to my way of thinking, clearly
22 focused on geomechanical issues.

23 The ones that I think are the most important with
24 respect to meeting the performance objectives follow in the

1 latter part of 60.133. There's a requirement to reduce
2 deleterious movement or fracturing of the rock mass. There is
3 a requirement to limit the potential to create additional
4 pathways for radionuclides to migrate. There is a requirement
5 that the EBS should be designed to assist the geological
6 setting, and there's a requirement that we look at the
7 thermal/mechanical response and ensure that in fact it does
8 not compromise the ability to isolate waste.

9 I skipped 60.130. That is a more general statement
10 of a requirement for design features in the repository system
11 that need to be developed with a mind towards achieving the
12 performance objectives.

13 We specifically have used 60.130 in the types of
14 evaluations and design concerns that we've addressed to date
15 to deal with the question of water. We're in an unsaturated
16 zone system and we wanted a place where we could specifically
17 tie our concerns about the water that we would be introducing
18 in the system through construction operations and drilling
19 operations, so forth. We wanted to make sure that we managed
20 that water as well as other materials in such a way that we
21 did not impact our ability to achieve the performance
22 objectives. And we generally talk about those concerns under
23 this 60.130, which is a general statement. It says DOE must
24 do everything they can--I don't think it says everything--but

1 not relieved, just because it is not listed in the lists that
2 followed, DOE is not relieved from having to consider it.
3 It's that kind of a statement.

4 There's also two more sections in that design
5 criteria as well; section 134 and section 135. Section 134
6 deals with sealing of boreholes and shafts. And that must be
7 done in such a way that we do not create additional pathways.
8 And, likewise, there's a specific requirement that the
9 materials themselves, or the emplacement techniques that are
10 used do not have effects on the transport of radionuclide
11 waste.

12 And, finally, there's a very comprehensive section
13 in 60.135. I've chosen to only list 60.135(a)(1), which says
14 that the waste package should not compromise the performance
15 of the site. It also says the converse; the site should not
16 compromise the performance of the waste package. Very nice
17 little piece of the regulation.

18 What I would like to do to set the stage for what
19 follows is show you a very busy diagram. The diagram is there
20 more for a concept than for the detailed specific elements of
21 it, although I will discuss some of them.

22 We have four performance objectives that I've
23 selected; the waste package lifetime, the release rate, the
24 pre-waste emplacement groundwater travel time, and the total

1 system performance objective. And I wanted to try to give you
2 an impression of where these different design criteria that I
3 was talking about would come into play with respect to these
4 different performance objectives, and with some selected
5 components of the system.

6 Now, I'll point out up front that I'm only going
7 below the repository horizon. I recognize there's a
8 comparable set of system components above the repository
9 horizon that are relevant to meeting these performance
10 objectives, but I wanted to keep this a little bit more
11 manageable.

12 So I've also, you can consider this a flow down of
13 regulatory requirements of sort, and I just wanted to point
14 out the kinds of things that we were talking about, and it
15 probably would be a good idea for me to put this other view-
16 graph up at the same time so both of us can remember what some
17 of those little numbers mean.

18 Well, let me just start with the waste package
19 lifetime. We're really concerned there about the initial
20 period where the canister would break apart. There's a
21 requirement that that should be a 300 to 1,000 year lifetime
22 period, and so what I'm looking at with respect to this are
23 things that said, for instance, as I told you, the 60.130 is
24 where we try to capture the effects of water. Would we have

1 introduced any water in the system due to our construction
2 methods that would have an impact on the lifetime of the waste
3 package. Is there a way that you could orient the facility in
4 such a way that it would either detract from or enhance that
5 waste package lifetime?

6 One possible way would be if you were at a fractured
7 rock mass, which we are, and it's reasonable to expect that
8 there would be preferential orientation with respect to that
9 fracturing in the rock mass system where you might have a
10 piece of rock falling out of that borehole wall, whereas,
11 other orientations, you wouldn't. So that's a concern.

12 60.133(b), flexible conditions. We deal with that
13 primarily with avoiding conditions that might not be as good
14 as other conditions within the rock mass. We've talked to the
15 Board before about contingencies in our area usage underground
16 where we might stand off some distance from a particular
17 fault.

18 Likewise, the (e)(2) series has to do with creation
19 of fractures. Again, this could be either allowing blocks of
20 rock to fall off and hit the waste package and fracture it, or
21 it could have to do with creating additional fractures that
22 didn't exist before that would allow better pathways for water
23 to get to the waste packages.

24 Let me choose a couple of other ones here. I've put

1 a comparable set of these down above and below, and that's
2 really because the waste package requirements themselves say
3 that the waste package shouldn't influence the natural
4 barriers and the natural barriers shouldn't influence the
5 waste package. So I think you have to look at it from what
6 the waste package does to the rock around it, as well as what
7 the rock around the waste package does to its lifetime. So
8 that's why there's a comparable set of these around there.

9 Now, I don't believe that the Calico Hills or the
10 saturated system below it are probably going to be very
11 important in the waste package lifetime, although I can
12 imagine scenarios where that could matter. I've chosen to try
13 to put down what I thought were the most important ones.

14 I have a comparable list for the release rate, and
15 my arguments would be just exactly the same, whereas I would
16 be less concerned about a piece of rock falling off the side
17 hitting a canister and fracturing it with respect to the
18 release rate. I would be concerned about the same physical
19 mechanism, the creation of these fractures or the incorrect
20 orientation or a less than appropriate orientation, I guess I
21 should say, leading to an enhanced ability for the system to
22 either provide water to dissolve that material and carry it
23 away or vice versa. So those are very similar.

24 Now, with respect to the pre-waste emplacement

1 groundwater travel time, the major concerns that I have on
2 here have to do, as I mentioned on Tuesday morning when I
3 spoke with you--Tuesday afternoon, excuse me--having to do
4 with the extent of the disturbed zone. And we'll talk about
5 that a little bit later on, but again we're talking about
6 construction induced fracturing, construction induced water
7 that would be there that wouldn't have been present before,
8 the effects of stress redistribution due to both the
9 excavation of the openings and the imposition of the thermal
10 heat loading on that as well. So that's why I have those up
11 here and likewise down here.

12 I vacillated on this. Any version of this view-
13 graph, it's either on there or off there, and I decided to
14 leave it on there because not only are you supposed to worry
15 about what the natural barriers do to the waste package
16 environment, there's that alternative interpretation in 135
17 that says what the waste package does to the natural barriers
18 themselves. And so I felt it needed to be appropriate for
19 completeness to leave it on there.

20 Now, the last one, total system performance, we have
21 very similar questions. We're rolling up a lot of this
22 directly. Although we are directed in the performance
23 objectives to look at the performance of the particular
24 barriers, the waste package lifetime of 300 to 1,000 years,

1 that is not necessarily directly relevant to the total system
2 performance, although it is, and I'll show you why I believe
3 it is so.

4 Likewise, there's a specific requirement on the
5 release rate. You may have a system that would meet the EPA
6 standard with respect to vastly different release rates than
7 are permitted under this portion of the regulation. The
8 regulation requires you to look at those release rates
9 themselves. So the same things that are over here show up
10 over here, but they show up more in the context of a source-
11 term rather than an absolute limit set on either the waste
12 package life or the release rate.

13 And this point also brings in the questions related
14 to sealing. Likewise, I've taken some liberty here by
15 assuming that the Calico Hills would not be relevant to the
16 extent of the disturbed zone, but I think I would have to
17 certainly admit that that will have to be considered. We're
18 looking at much larger volumes of disturbed material,
19 disturbed in the broadest sense, when we're talking about
20 higher thermal loading. So it's quite likely that Calico
21 Hills could become a question with respect to the extent of
22 the disturbed zone.

23 But the Calico Hills is relevant to the total system
24 performance because that's where our major retardation would

1 occur and that's where the bulk of the transport would have to
2 occur. And likewise, as I mentioned before, the groundwater
3 system itself, we, in the SCP, did not take very much credit
4 for the ability of the groundwater to retard the material.
5 And as I mentioned, that's primarily due to an uncertainty
6 that exists currently in a value for the effective porosity.

7 I've seen us in the time I've been in the program
8 lose a couple of orders of magnitude of groundwater travel
9 time only because of the uncertainty in the effective porosity
10 that you would use in that calculation.

11 Okay, now I want to tie that back to the sorts of
12 things that Eric and I talked about on Tuesday afternoon.
13 This is basically a summary of a couple of Eric's viewgraphs.
14 But I wanted to remind you that we talked about the design
15 considerations, both from the historical perspective that I
16 talked about, and that Eric talked about with respect to
17 developing thermal loading from specific criteria. These are
18 the kinds of criteria that Eric was talking with you about,
19 and I think that you can recognize in this set of criteria,
20 those design considerations that exist in 10 CFR Part 60.
21 That's really where we get them. That's what drives us with
22 respect to our eventual license application.

23 My talk on Tuesday afternoon was more focused on the
24 historical evolution of those, trying to show you where they

1 came from. I'd like to point out to you now that in fact when
2 I say rock slippage, we have to limit the impact rock failure
3 or the continuous joint slippage. We're talking once again
4 about a piece of the regulation down here in 60.133(e)(2), or
5 60.133(f), maybe 60.133(i). So there are very strong ties
6 between these repository design considerations that we're
7 working with and the additional design criteria in 10 CFR Part
8 60 that we need to consider in our demonstrations of meeting
9 the performance objectives.

10 So now I would like to take that kind of information
11 and move into a little bit different approach to talking about
12 this. And what I've chosen to do is examine the technical
13 uncertainty talks that you had on Wednesday in their
14 relationship to the performance objectives. And I basically
15 said I'm going to look at the four postclosure performance
16 objectives and the technical uncertainties. Larry Costin
17 talked about geomechanics, Tom Buscheck talked about
18 hydrogeology, Brian Viani talked about the near-field
19 geochemistry, Dave Bish talked about the mineralogy, Greg
20 Gdowski talked about the waste form and materials, and Ted
21 Ostler talked about biological resource concerns.

22 And I would also like to use the kinds of things we
23 just finished talking about with respect to those system
24 components, and so I'm going to look at the same system

1 components we were just looking at before, the repository, the
2 waste package, Topopah Spring, the Calico Hills and the
3 groundwater. And that will lead me to a very interesting box
4 that I want to talk about. I want to use this as the format
5 to talk about where the checks are in this box, where the
6 uncertainties are, what they mean in terms of the performance
7 objectives.

8 Now, let me show you just why I want to do this.
9 Okay? When Larry Costin stood up and talked before you, he
10 did a slice through this block effectively this way. Okay?
11 He talked about the geomechanics concerns. He didn't tie them
12 strongly to these performance objectives, although I think if
13 you hadn't realized it when Larry talked, I hope by the time
14 I'm completed, you will recognize that the things Larry was
15 saying really were in the context of these performance
16 objectives. Okay? And then, likewise, Tom Buscheck went
17 through hydrology and so forth. So I'm going to do that the
18 other way. I'm going to go through the box along these
19 slices, and I'll start out by putting up one that has to do
20 with uncertainty in the waste package life.

21 We identified four boxes in that cube that I would
22 like to make some comments about. They are the relationship
23 between the geomechanics, the waste package life, the
24 hydrogeology--excuse me--that's in the context of repository,

1 the repository element. I'd like to talk about in the context
2 of the waste package element itself, the waste form and
3 materials, and then with respect to the Topopah Spring, some
4 information about hydrology and the geochemistry in the near-
5 field. And so that should be the next viewgraph in your
6 package.

7 I may give you a little bit different spin on these
8 things from the way Larry Costin might have said it or the way
9 Tom Buscheck said it. Most of my spin differences will be
10 with respect to Larry Costin. You have to consider my
11 background as well. I am one of these kind of people rather
12 than one of these kind of people, so I have more fun with this
13 part of the diagram.

14 So the first thing I mentioned was the borehole
15 stability question, again with respect to waste package
16 lifetime. Is a block going to fall off the side of the
17 canister--excuse me--off the borehole wall and damage that
18 canister, or maybe not even damage it, but maybe tip it over
19 to the side. If we're relying on the air gap that we
20 currently build into this system and a block of rock pushes it
21 over where it contacts the rock mass, it's a different
22 situation from having an air gap which is effective.

23 I have a little bit different perspective on the
24 question of creation of new fractures and opening or closing

1 existing fractures. I don't feel quite as confident that
2 that's a problem that we either fully understand, and I don't
3 want to put any words in Larry's mouth. It's possible to
4 interpret something that Larry said in such a way that he may
5 not have felt that that was a significant concern. I see more
6 uncertainty in it. And the reason is you not only have the
7 potential to create new fractures, you have the potential to
8 open or close existing fractures, and that is going to have
9 some impacts on some of the things that Tom Buscheck was
10 talking about, fractures promoting rapid condensate creation.

11 Well, those fractures may be open in our current
12 understanding of the mountain, but when you pose compressive
13 horizontal forces on this system of the magnitude that Larry's
14 model was showing, you could close those, and you may prevent
15 that condensate drainage that we're talking about in some of
16 the models that you saw yesterday. I view that as a big
17 uncertainty.

18 And I'd like to thank Mike for the extra five
19 minutes because I think at the end of this, I'd like to show
20 you a couple of figures that show what happens to a natural
21 fracture, both with respect to a measurement of its opening
22 and closing and with respect to what the permeability of that
23 fracture is in a cyclic heat environment. I'd like to show
24 you that information.

1 There are uncertainties with respect to the usable
2 area and the flexibility. Again, this is a stand-off question
3 once again. If we go into this characterization program
4 anticipating that we may not be able to use the area that's
5 within, say, 25 meters of a fault that may be transmissive.
6 If the Ghost Dance fault turns out to be a transmissive fault
7 and we have already said we would stand off from that fault so
8 that we would not put those materials, waste package, waste
9 form materials in a rock mass material that was more subject
10 to flooding, that's a question for us.

11 I told you right now that, or when I started, that
12 we believe a conservative estimate of that uncertainty is on
13 the order of 350 acres out of 2,200 acres. We need to confirm
14 that through characterization.

15 Then there's a question of lateral diversion. And
16 again Tom Buscheck showed you lateral diversion occurring at a
17 boundary between two distinct rock types. I think that if
18 you're closing fractures in a system, it's likewise possible
19 that you could divert moisture. So that's a consideration
20 that I don't think's been--that we need to look at. That will
21 come out exactly what I said. That is a consideration that we
22 do need to look at.

23 With respect to the hydrogeological concerns, Tom
24 Buscheck was showing you that high temperatures promote drying

1 and extend the resaturation time, and they limit contact of
2 fluids with these waste packages under his models. He viewed
3 that as a very positive aspect of his model. I think there's
4 uncertainty with respect to that.

5 I've already mentioned to you the topics of
6 fractures promoting rapid condensate drainage in the context
7 of the thermal loads on the system, closing some of those
8 fractures, and then the usable area of flexibility question.

9 With respect to the geochemical uncertainty
10 relationships that exist in that Topopah Spring unit, we're
11 talking about changing the environment surrounding that waste
12 package, and that affects the chemistry of the system, the
13 dissolution that takes place within that system, precipitation
14 of minerals, and sorption capabilities, all of which could
15 have an impact on the waste package life if corrosion is a
16 dominant mechanism in that life.

17 And that brings me to what I've tried to capture
18 what Brian said in four words, and I think he's talking about
19 some of the mechanistic aspects of corrosion are not perhaps
20 as well understood as they need to be before we can put this
21 question to bed.

22 With respect to the waste form and materials, now
23 you're getting farther and farther away from my area of
24 expertise, and so all I can say is exactly what Greg Gdowski

1 said yesterday, that the container materials are above
2 boiling, there are some advantages for corrosion rates and
3 formation of protective oxides. That would be this box over
4 here.

5 Okay, well let's move on to the next one, which is
6 something about the technical uncertainty relationships with
7 respect to the release rate. I didn't really need to change
8 this box. The graphics people are angry with me that they had
9 to color two of these because the boxes are colored in exactly
10 the same, but the bullets are a little bit different.

11 Again, in the area of view mechanics, we're talking
12 about the question of creating new fractures or opening and
13 closing existing fractures, again that has to do with the
14 amount of water that's available to move material away from
15 the waste package. I believe that opening and closing of
16 those fractures is a consideration, although it might not be.
17 If high temperatures do promote drying to the extent that Tom
18 Buscheck was suggesting, that would extend the resaturation
19 time, again under consideration of opening and closing these
20 pre-existing fractures or creating new fractures, again that's
21 a consideration and very strongly coupled. And it could limit
22 the amounts of fluids available.

23 However, the converse, if you will, is also true.
24 If you've closed fractures in that system, you could in fact

1 channel materials that would come right down and basically
2 prevent that rapid condensate drainage from occurring.

3 The same concerns exist about the usable area of
4 flexibility and lateral diversion with respect to this. Now,
5 in this particular instance, I've used lateral diversion as a
6 favorable aspect for the hydrogeological situation because
7 we're talking about water moving away from the system. If
8 you're moving that water upward in the system and you deal
9 with those boundaries again, there may be that potential for
10 lateral diversion.

11 With respect to the geochemistry, we have the same
12 concerns of mechanistic aspects of corrosion and the
13 environmental changes leading to chemistry, dissolution,
14 precipitation and sorption changes. However, it's very
15 appropriate to point out that both Dave Bish and Brian Viani
16 pointed out that the expected phases that we would deal with,
17 changes within the rock mass itself at the elevated
18 temperatures, are zeolites and clays, and so that should be a
19 positive situation for us.

20 You are dealing with a region of altered
21 permeability and porosity and the extent of that region needs
22 to be ascertained. Again, we're talking about release rate
23 here. We're talking about the context of how much material,
24 mass material, is actually available to move these

1 radionuclides, dissolve them and move them.

2 With respect to the waste form and container
3 materials, this is pretty much a direct quote from what Greg
4 said yesterday, the container materials are above boiling;
5 there are some advantages for corrosion rates and oxide
6 formation. However, now we're not dealing with just the
7 container. We have to talk about the waste forms as well with
8 respect to this issue, and we're talking about spent fuel as
9 one possible one, and Greg was pointing out that in the 100
10 degree to 250 degree C. range, there are some advantages with
11 respect to cladding rupture, oxidation, pellets remaining
12 intact and dissolution of the fuel.

13 For the borosilicate glass, on the other hand, the
14 advantages occur when you're at or below boiling where you
15 have more benign water/glass interactions.

16 Incidentally, if any of the gentlemen who I am
17 paraphrasing would care to stand up and say no, that's
18 perfectly all right.

19 I mentioned the other performance objective, pre-
20 waste emplacement and groundwater travel time. What I've
21 identified here are the concerns with respect to the
22 geomechanics and hydrology at the repository horizon--excuse
23 me--with respect to the engineered barriers themselves, and at
24 the repository horizon, this should be the Topopah Spring. I

1 can see I've been a little bit more generous in this diagram
2 when I extended it down to the Calico Hills as a potential
3 needed to be considered for the extent of the disturbed zone.

4 And I threw this in; it's kind of a recapitulation
5 of something I said the other day. The pre-waste emplacement
6 and travel time, these technical uncertainty relationships,
7 remember we're talking about postclosure concerns right here,
8 and this is a piece of the performance objectives that falls
9 under the performance of a particular barrier after closure,
10 and it is one of those aspects of the performance objectives
11 that are intended to provide more assurance that the system
12 will function if there's redundancy in the system. And the
13 importance of the thermal loading with respect to the pre-
14 waste emplacement and ground water travel time is only in the
15 calculation of the extent of the disturbed zone. Okay? You
16 would not put the heat in the system to calculate that
17 groundwater travel time, although you would consider the
18 effects of heat in determining how far the disturbed zone was,
19 which is the point where you start calculating the groundwater
20 travel time from.

21 And again, as I've said, the important issues there
22 were stress redistribution, construction and excavation
23 induced effects, thermomechanical effects and thermochemical
24 effects. And as I told you the other day, NRC considers 5

1 opening diameters may be the minimum appropriate distance.

2 So the pieces that I've pulled out here, again, have
3 to do--oh, let me remind you a point I made with respect to
4 our approach to dealing with the disturbed zone. We looked at
5 the volume of rock where the permeability would be changed
6 significantly such that it would change the groundwater travel
7 time significantly. So we recognize that many of the
8 theoretical solutions that we're looking at for heat in a
9 system, the effects extend, theoretically, to infinity, but we
10 were looking for a more practical applicable aspect of that
11 and so we tried to define it as the point in space where the
12 effect of the permeability change was appreciable.

13 So much of what I'm saying here is in that context,
14 and so we're looking once again, under geomechanics, at the
15 effect of construction induced fractures and thermally created
16 fractures and, again, this is in the context of opening or
17 closing those existing fractures in such a way that it could
18 modify that permeability to lead you to move farther away from
19 the repository horizon to begin your travel time calculation.

20 With respect to the hydrogeological concerns, there
21 is that concern for construction or operation induced fluid
22 saturation changes. When you're in an unsaturated zone
23 environment and you change the saturation of the rock mass
24 system, you have changed the relationships between

1 permeability. And, likewise, the lateral diversion question
2 again. If it's induced by the creation, something to do with
3 the creation of the repository facility underground, that
4 would need to be considered in the pre-waste emplacement
5 groundwater travel time.

6 Near-field geochemical effects, we talked about the
7 development of that region of altered permeability and
8 porosity. The extent of that region is of concern for the
9 groundwater travel time.

10 And with respect to the mineralogical changes, now
11 these are the far-field ones that Dave Bish talked about,
12 we're talking about dehydration and contraction of minerals,
13 potential for enlargement or contraction or clogging of
14 transport pathways.

15 Now, with respect to my opening remark about the
16 significant changes in the permeability of that rock mass
17 zone, some of these could actually be beneficial. You know,
18 if we could manage closing, contraction, if you will, or
19 clogging of transport pathways, that would be a net benefit.
20 I am not certain how you would treat that in the calculation
21 of the extent of the disturbed zone. I would like to think
22 you would take credit for that or you would not detract rock
23 mass away from the system when you've made it better. You
24 would only take rock mass away from the system when you've

1 made it worse.

2 That's a wide open question. I think Raj and I
3 talked about that the other day, about there's still a lot of
4 debate that needs to follow on the extent of the disturbed
5 zone.

6 Dave was mentioning that the short-term contractions
7 appear to be reversible, and even though some of these
8 reactions that occur in the mineralogy cause flow path
9 modifications, they may be beneficial. I think Dave concluded
10 that as well. That's where I got that.

11 And with respect to perhaps a heightened sensitivity
12 to Tom Buscheck's model and Dave Bish's model, I did give
13 Calico Hills a little check there on my matrix block.

14 Okay, finally, total system performance involves
15 much more of the system. Okay, now we're talking about, and
16 perhaps it might be appropriate just for a moment for me to
17 put up a diagram that I had up earlier that I've taken down,
18 and the reason that the list becomes more extensive with
19 respect to this particular diagram is how much more all those
20 pieces of the regulation, the additional design criteria that
21 we're talking about having to use and address to demonstrate
22 that we meet the total system performance, how much more
23 pervasive they are with respect to all of the system elements
24 now. So that's why the list gets a little bit longer on this

1 block.

2 Okay, geomechanics. We're talking about the
3 borehole stability. That's really a source term aspect with
4 respect to total system performance, whether or not the
5 borehole collapses, punctures your waste canister, pushes it
6 over against the side so you have more contact with the rock
7 mass. Again, the concern I've expressed about creating new
8 fractures, I believe the more significant concern is in fact
9 opening or closing existing fractures, and that usable area
10 question flexibility, how much room do we have down there,
11 where do we have to stand off.

12 Hydrogeological; I think Tom noted for you that most
13 of the impacts that he identified were in systems where there
14 was fracture dominated flow. Again, the conclusion Tom made
15 was boiling and dryout enhanced fracture flow attenuation.
16 But you need to consider the volume that's involved and the
17 time that's involved. We have a 10,000 year time frame that
18 we're dealing with right now for the total system performance.

19 The higher temperatures promoted drying, extended
20 that resaturation time, which is important to both waste
21 package lifetime and the dissolution, the release rate, and
22 limits the fluids available that are able to carry those
23 radionuclides away. So that's kind of a source term there as
24 well.

1 Again, the question of the fractures promoting rapid
2 condensate drainage if the thermal load could close those
3 fractures. In fact, you know, it could be engineered to open
4 those fractures just as well. I've continually said close
5 those fractures, but the fractures, it may turn out that the
6 proper way to orient the repository is not the conventional
7 way that you would orient it for preclosure stability
8 concerns, but you might want to orient it at an angle to that
9 so that the heat in fact would open the fractures if you're
10 trying to promote this condensate drainage. If that turns out
11 to be a concern, you might want to go against conventional
12 thinking, trade off to buy something in the postclosure.

13 We didn't talk much about this about this--we didn't
14 talk about this at all, but there's that question of reliance
15 on the saturated zone flow component. We really need to
16 address that as well. There are uncertainties in that with
17 respect to total system performance. Again, the questions of
18 usable, flexibility and lateral diversion.

19 The geochemical concerns are more important pretty
20 much all around for the source term. And we talked about the
21 changes in that environment, sorption, deposition of minerals
22 and so forth. Potential exists for near-field retardation
23 enhancements if in fact the minerals change, as the evidence
24 would suggest, to minerals that have retardation properties.

1 And, again, there's that region of altered permeability and
2 porosity which has an impact on the source term.

3 Going off into the far-field, pretty much the same
4 comments that were made with respect to the previous
5 viewgraph. Dehydration and contraction of minerals is of
6 concern. We need to understand what the effect of that is,
7 and it's manifested as a potential enlargement of transport
8 pathways, contraction of those pathways, or in fact clogging
9 through deposition of those pathways.

10 Dave pointed out that some of these short term
11 contractions may in fact be reversible, however, over the long
12 term, there may be some irreversibilities in that. And then,
13 again, the question Dave approached of the mineral alteration
14 potential, he brought up the time that it takes for that to
15 happen.

16 With respect to the waste form and materials, and
17 again that's important as a source term in this diagram, these
18 are the same points we've made before, the container materials
19 seem to prefer being above boiling because there are
20 advantages for corrosion rates and oxide formations. The
21 spent fuel advantages seem to be between about 100 and 250
22 degrees C., and that's for the cladding rupture, the
23 oxidation, the maintenance of the intact fuel pellets, fuel
24 dissolution.

1 The borosilicate glass, on the other hand, seems to
2 have its advantages when it's below boiling for the benign
3 water/glass interactions.

4 And let me just turn to this diagram because I
5 haven't mentioned it and point out that, in fact, the
6 geomechanics basically is a repository horizon concern
7 throughout the Topopah Spring and throughout the Calico Hills,
8 I believe. I'm not terribly suspicious of this being a
9 significant component, but I really think there are
10 uncertainties with respect to that opening and closing of
11 those fractures in that Topopah Spring horizon.

12 The hydrology is a question throughout the section
13 from the repository horizon all the way down to the water
14 table.

15 Mineralogy is really more of a Calico Hills concern
16 because of where we believe our sorptive minerals are. There
17 could be some sorptive minerals, there are some sorptive
18 minerals in the Topopah Spring, but that could also affect
19 that unit as well.

20 With the waste form and materials, worried about the
21 repository and waste package interaction, as before. I don't
22 see much for farther away from that as well. Probably could
23 have colored the Topopah Spring in there as well; it would be
24 more consistent with what I said.

1 Now, I swear that I did not know Dr. Cantlon would
2 be the chairman of this particular section, but I've been
3 expecting him to say all along that I have not put a box
4 anywhere along there. Okay? You were going to notice that?
5 Okay, that's because the biological resource concerns are not
6 really addressed in the technical requirements of 10 CFR Part
7 60. They are addressed in the EIS process, and as you know,
8 in fact the NRC has been directed to use our EIS to the extent
9 that they possibly can. And so we do, because of that,
10 address biological resource concerns in the repository design
11 requirements. We've mentioned some of them to you before.

12 And I wanted to point out that the design
13 calculations that I'm familiar with suggest a 1 degree
14 temperature change at the ground surface, and that's well
15 within the limits that Kent Ostler said would probably not
16 have significant impact. Ben Ross seems to have walked out of
17 the room. I meant to ask--oh, Ben, you might want to comment
18 whether the model you showed this morning would show a
19 significantly higher heat flow at the ground surface, which
20 would make more uncertainty in this number.

21 DR. ROSS: I'm uncertain about that.

22 DR. VOEGELE: Thank you. The record should show that Dr.
23 Ross is uncertain about that.

24 Okay, I'd like to wrap this up by going back to a

1 theme of mine that I tried to work into Carl's talk and I
2 tried to build my talk from that on Tuesday morning, and that
3 is it is these repository design considerations that are most
4 important to us in determining the appropriate repository
5 design. We can't just shoot for an APD. We need to know what
6 we want, how we want our design to perform, and I hope I've
7 showed you this morning that what makes you determine how you
8 want your design to perform is in fact what you have to do to
9 meet the performance objectives.

10 So, again, I've reminded you of the kinds of design
11 considerations that we're carrying with us in the program and
12 hopefully I've showed you a relationship between the
13 regulation, our goals to meet the performance objectives, and
14 some of the uncertainties that we've talked about for the last
15 couple of days.

16 So I do have a couple of concluding remarks, and in
17 all likelihood, they'll be exactly the same as what I just
18 said. The performance objectives do provide that framework
19 for judging the suitability of the site. Those are our rules.
20 We must meet the performance objectives. And as I said, the
21 design considerations that we're talking about, the parts of
22 10 CFR 60.130 through 135 really need to address attributes of
23 the system that we need to address to meet the performance
24 objectives.

1 I think that the conclusion of my talk is that the
2 ranges of the APD need to be examined during the design so
3 that we can develop approaches to meet all the design
4 considerations. And I probably could say that as well the
5 other way.

6 We would very much appreciate dialogue with members
7 of the Board, members of the technical community, the
8 international community on these design considerations that we
9 want to develop and strengthen to make them as defensible as
10 they possibly can to meet the performance objectives.

11 And, finally, the point here, we tried to put this
12 down in a bullet on viewgraphs, they tend to get a little bit
13 terse, but the point here is we haven't begun to understand
14 the system interactions that will allow us to make trade-offs
15 in these component performance requirements. We have right
16 now a relatively broad program. We have understandings of how
17 the different pieces individually work, what some of the
18 design considerations might be with respect to those
19 individual pieces, but we haven't really begun to put all the
20 pieces together.

21 Many of the uncertainties that we've talked about
22 over the last two or three days may not be relevant once you
23 begin to understand the trade-offs in the system interactions.
24 It just may not be relevant.

1 So I think I would like to leave that as the
2 concluding remark. No, I can't do that. I have to leave this
3 as the concluding remark. We need to address the design
4 considerations. That's very important to us, and I think
5 that's why most of us have looked forward to this meeting.

6 So those conclude my formal remarks. I would like
7 to take about five more minutes if we have them and show you a
8 couple of figures and then do questions for a while.

9 What I'd like to show you are the results of, this
10 one happens to be the first heated block test that was
11 performed. I'll take the opportunity here to make a nasty
12 little comment. You can tell from this, this is the title of
13 this ONWI report where you can find this, I would urge you to
14 go look in the 22nd Rock Mechanic's Symposium that was held at
15 MIT in about 1982, because there the authors of this report
16 are in the correct order. My point here is you can tell what
17 month I left Terra Tek in. They left me on. Okay, that's
18 important.

19 I wanted to make a little comment. You know, if
20 this were a university publication--this is like an honorary
21 position, the department chairman was a co-author, in a
22 research organization, this is like the guy who knew how to
23 turn the oscilloscope on. Okay? However, Ernie deserves a
24 lot of credit for that work, too.

1 Okay, this is a couple of figures out of that
2 document. I just want to show you what happens to a rock
3 joint that's been isolated and very heavily instrumented and
4 permeability measurements made in that as well.

5 This particular diagram shows a couple of excursions
6 where we've loaded up the system and then unloaded it, and
7 these were in fact uniaxial loads. Since I've already taken
8 credit for this work, I also have to be responsible for
9 something that was done incorrectly in this work. We did the
10 uniaxial loading first and, of course, we sheared the joint
11 before we ever had a chance to load it biaxially. But we
12 fixed that, okay, a little later on.

13 These are the theoretical smooth wall apertures that
14 are calculated as a function of an excursion in stress over
15 just a few hundred psi, and it's easily a doubling, which is
16 at--

17 DR. CANTLON: What's the rock type?

18 DR. VOEGELE: This is a granite gneiss. Granite gneiss;
19 it's a hard crystalline granite. And calculated from a
20 theoretical smooth wall aperture, we're talking about three
21 orders of magnitude--or excuse me--a factor of eight, an order
22 of magnitude change in permeabilities and flow kinds of
23 concerns.

24 This is the comparable diagram of measured changes

1 across that fracture. So in this case--I probably should have
2 shown this one first--we actually had pretty detailed
3 measurement devices across that aperture. It was a well
4 isolated fracture. We were controlling the movement of that
5 aperture. And you can see it goes all over the place as you
6 load the block up because it was a fractured rock mass.

7 But what I wanted to show you was the difference in
8 not only the behavior, but the amount of change, how more
9 recoverable the permeability is in fact than the actual
10 displacement across the joint. And so once you get
11 comfortable with that, let me show you the more complex
12 version. This is biaxial loading of that block under
13 temperature, and in fact the block itself was just an isolated
14 cube of granite where we had flatjacks, we had drilled holes
15 along the side and put flatjacks into the rock mass, and we
16 had a fracture across the block, and we had an injection hole
17 and a couple of observation holes on either side of it.

18 Okay, this is what happens to a fracture when it
19 gets cycled through temperature and pressure. Okay? It
20 starts right here, and as we load the block, we see a decrease
21 in the aperture of that fracture at a constant load. We
22 heated the block, continued to decrease the aperture. Here we
23 had an excursion where we unloaded part way and loaded it back
24 up. We lost some of the aperture there. We could not recover

1 it. Heated it up even more, and we were not that high, we
2 were only about 75 degrees C. in this block and we, again,
3 lost--got down to this point, lost a significant amount of it.
4 In fact, I believe we gained aperture on this one when we got
5 to here, unloaded, loaded back up.

6 And then when we came back up and cooled the block
7 down, how much difference there is in there fracture aperture,
8 and then went back to ambient and we still had a significant
9 change. Now, as I've said, we've sheared that fracture first,
10 and so a lot of people have been critical of us, you know,
11 first time out, you can make a mistake, right? A lot of
12 people were critical of the fact that we had sheared that
13 fracture first, and expected the results to be totally
14 different if we had done that block in a biaxial loading
15 situation first and then sheared it.

16 This is the fracture permeability measurements in
17 the heated block test that was run in G-Tunnel. Okay, so you
18 can see what we did here is we tried to do permeability
19 measurements before we cut the slots. Okay? And then we cut
20 the slots, and so you can see increases in the fracture
21 permeability. There are two paths in this one as well between
22 a packed off interval and observation holes in either side of
23 it. This is one of the paths. Gained quite a bit of
24 permeability when we cut the slots. Tried to pressurize the

1 slots back up to what we felt were the in situ conditions. We
2 were trying to be very careful with this fracture. Couldn't
3 gain it all back, but we gained quite a bit of it back.

4 Once there's some ambient temperature biaxial
5 testing, and this is when we unloaded the block, and that's
6 the behavior as well, and then we turned the heat on at this
7 point in time and went through a couple of temperature cycles
8 and so forth.

9 The point I wanted to make is this is where we
10 sheared the block after we had done the biaxial loading, and
11 we didn't do much damage to that fracture. Now, this fracture
12 was much, much smoother and much more planar than the fracture
13 at the Colorado School of Mines test. But we did not do much
14 to the permeability in that block when we sheared that
15 fracture.

16 Now, these are the kind of considerations I think
17 that Larry showed you a model of a laboratory test on a joint
18 where he knew what component of the deformation was
19 attributable to the rock and what component that was
20 attributable to the fracture itself. And here is some
21 information approaching that same problem from another
22 direction. This is actually what happens to the permeability
23 when you heat and load these rock masses.

24 I firmly believe we have much more work in this area

1 to do. I see that as one of the bigger uncertainties.

2 DR. CANTLON: Thank you, Mike. Questions? All right.

3 DR. VOEGELE: We have Tom Buscheck.

4 DR. CANTLON: Okay.

5 MR. BUSCHECK: For the net condensation rate, at the
6 highest heat loads, we saw 30 centimeters a year. The
7 reference data for bulk permeability in the rock is 365 meters
8 per year as opposed to 30 centimeters per year. So what we
9 see is about four, I don't know how many orders of magnitude,
10 30 centimeters per year is what the maximum would have been,
11 and the rock, under its ambient conditions today, could
12 conduct 365 meters per year. So I think there's probably
13 excess capacity, so we'd have to see a lot of closing of
14 fractures to significantly throttle flow.

15 The other thing is the maximum stresses are going to
16 occur in close to the waste, and in the pillars furthest away
17 from the waste, you will see less of that closure effect, I
18 would believe. So where we were showing the hydrothermal
19 umbrella between rooms, you would see less of that closure
20 effect.

21 DR. VOEGELE: Okay, we're talking almost an order of
22 magnitude permeability change between preconditions and after
23 we went through the cycle, and we only went up to about a
24 thousand psi. I think we did go to 10 megapascals, 1200 psi.

1 Larry's numbers, if memory serves me, went five times higher
2 than that. Okay.

3 I don't know where the limit to closing a fracture
4 is. We've never taken a fracture to the limit, to those kinds
5 of limits. But I think that there are other concerns other
6 than the drainage capacity of the system.

7 DR. CANTLON: All right.

8 DR. CORDING: One comment there in regard to the
9 fractures. I certainly can see how you can open fractures
10 when you excavate and change permeabilities by many orders of
11 magnitude even, but in the closure of the fractures, in some
12 of that earlier data of course you show that, the S-shape
13 which is pretty typical, and a lot of that is already out of
14 the material, or some of that is your testing. This was a lab
15 test, wasn't it, on a big block?

16 DR. VOEGELE: This was a block in the field.

17 DR. CORDING: Oh, in the field?

18 DR. VOEGELE: This was underground, yes.

19 DR. CORDING: But had that boundary been disturbed or the
20 stresses reduced from that surface before the test?

21 DR. VOEGELE: Sure. Both of these--well, actually, the
22 CSM block was blasted. Okay?

23 DR. CORDING: Yeah. I guess my point is that a lot of
24 that initial S-shape is the disturbance effect, and that

1 you're really on the steeper portion of your curve in the
2 field, so you're getting further away from the joint, further
3 away from the excavation, let's say.

4 DR. VOEGELE: Okay, this particular joint was exposed
5 with as much care as I believe it's probably possible to. We
6 used an Alpine miner to bring this down to a reasonable
7 distance below the blasted floor. And then, in fact, there
8 was a lot of hand excavation that we did to really get down.
9 There's no guarantee that we have, you know, a virgin fracture
10 here, obviously, but we did take a lot of care to try not to
11 disturb that any more than natural conditions. But the most
12 obvious one, Ed, correct, I mean, this is disturbed by the
13 opening.

14 DR. CORDING: And certainly even any type of excavation
15 I'm sure you can get some significant opening locally at the
16 edge.

17 DR. VOEGELE: Sure.

18 DR. CORDING: But I think more further away, the
19 possibility of a closure is going to be, because there's
20 stress already in the ground at that location, it's going to
21 be on a steeper slope.

22 DR. VOEGELE: I understand.

23 DR. CORDING: And, in other words, there will be less
24 opening, or less reclosure upon heating than you would get if

1 you were looking at a disturbed joint.

2 DR. VOEGELE: That's very interesting. We did take this
3 back to zero. Okay? We unloaded it before we started the
4 heating cycle again to try to take it through a cycle and see
5 if it was recoverable. We heated it at load. Okay? So we
6 knew the stress on that fracture before we started it, so it
7 had the stresses that we put on it, not the stresses induced
8 by the excavation itself, which I believe is what you're
9 talking about. Maybe not.

10 DR. CANTLON: Okay. Bob Shaw?

11 MR. SHAW: Bob Shaw from EPRI. Mike, I'm very impressed
12 with your three dimensional array and the framework that you
13 look at, you know, the technical uncertainties, and I'm quite
14 serious about that. And you produced a fairly exhaustive
15 list, you know, that comes under these various categories, and
16 yet there were two areas that we looked at that didn't seem to
17 be included. The first was the question of climate changes in
18 the future and net infiltration and how that affects things,
19 and the second is the general question of heat transfer and
20 how that changes your temperature profiles with time.

21 DR. VOEGELE: This particular talk was intended to be a
22 summary of the presentations that were given by the six
23 gentlemen who spoke yesterday. So we did not address a lot of
24 uncertainties that exist in the program, especially the

1 climatological infiltration change types uncertainties. We
2 dealt with geomechanics uncertainties, the hydrology. Tom did
3 address that to some degree, and it was in the context of how
4 well you can match the pre-existing moisture content profiles
5 as a function of infiltration rate in his models. And so he
6 dealt with that. I didn't bring that forward in my summary.

7 And your second point was the different heat
8 transfer mechanisms. I guess that's probably more subtle than
9 this overview summary was intended to be. The person to ask
10 that question of would be Tom Buscheck.

11 DR. CANTLON: Okay. Mike, do you want to summarize?

12 DR. VOEGELE: One more question. Two more questions?

13 DR. CANTLON: Yes, three more questions.

14 MR. JARDINE: Jardine from Livermore. Could you put one
15 of those blocks up, Mike?

16 DR. VOEGELE: One of the blocks?

17 MR. JARDINE: I think this relates to the angle Bob Shaw
18 is coming from, and me too, and I'd like you to comment on the
19 total system, the layers. You led me to believe that you
20 started your thinking at the repository horizon and went down,
21 and had no, let's say, considerations for the strata that were
22 on the top. So I would say I think you may not be including
23 the total system in your discussion, and then when you put up
24 things like waste package, whatever you want to pick, lifetime

1 controlled release, so could you kind of comment if that's--

2 DR. VOEGELE: The easiest comment is, actually it flips
3 probably right about--this line flips up to the top. I think
4 virtually everything that's in this column is applicable above
5 it as well. Okay? I'm not going to stand up here and say for
6 reasons of symmetry, I decided to only present the lower half.

7 But you're right, Les, we did have that discussion.
8 We knew in fact that it would be more reasonable to address
9 it above it. But that added four or five more components to
10 the system, and the point I was trying to make I think could
11 be made as I made it, with a concluding comment that the same
12 applies to the horizons above it.

13 MR. JARDINE: Yeah, I think the only reason I wanted to
14 bring it out was to--I see the same thing occurs in the SCP
15 and I'd like to, you know, it looks like it goes down, but to
16 get more people thinking, you know, it's a total system and
17 starting at the top. We also saw that in Ben Ross's talk or
18 even Tom's.

19 DR. VOEGELE: I can't defend what's in the SCP, of course
20 I can't. I don't think that we were as smart when we put
21 together that SCP as we are today. The strata above the
22 repository horizon were viewed as something that got watered
23 down to the repository horizon where something started
24 happening. Okay? And in fairness to people like Parvis

1 Montezar and some of the other people who worked on that
2 modeling, there was development at that time of some of these
3 concepts, but the real focus I think in the SCP was probably
4 the repository horizon and below.

5 MR. ROSEBOOM: Along those same lines, some of the words
6 in your viewgraphs on 10 CFR 60 bring back memories of some
7 old arguments with the NRC, and I would just like to point out
8 that 10 CFR 60 came out for comment in 1981, and the letter
9 that Max Blanchard referred to yesterday where the USGS first
10 suggested to DOE a possibility of a repository in the
11 unsaturated zone came out in February of '82.

12 Now, there had been almost no thinking on
13 unsaturated zones--well, there had been no thinking on
14 unsaturated zone repositories when the first version of 10 CFR
15 60 came out. There had been a number of generic models looked
16 at of different rock types, but no thinking regarding what a
17 repository in the unsaturated zone would be like.

18 The USGS and DOE suggested that NRC needed to
19 consider this, and in fact I then wrote a USGS circular trying
20 to explain how a repository in the unsaturated zone would be
21 different, and I was writing that and funnelling drafts to the
22 NRC people who were looking at the problem at the same time,
23 but there was almost no thought other than that on how a
24 repository would be different.

1 So that we have things like the problem of we
2 objected in the letter to the groundwater travel time of 1000
3 years. We felt that was a problem because some of the water,
4 as we've now seen, could travel very rapidly through
5 fractures, if it didn't come in contact with the waste, it had
6 no significance.

7 Other matters regarding fractures in the saturated
8 zone, fractures are always bad, they open additional pathways.
9 In the unsaturated zone, fractures may enable you to drain
10 the repository down to, say, the Calico Hills, something like
11 that.

12 The question of sealing openings, the NRC wants to
13 tightly seal all openings. Well, it might be better in some
14 cases to control the flow of water underground to specific
15 places where, such as the Ghost Dance fault or other places,
16 where the water might bypass the repository.

17 So I would just like to make the point that 10 CFR
18 60 still, because of the time frame when everything was done,
19 contains a lot of thinking embedded in there that was locked
20 into the saturated zone and very little thought and no idea of
21 the kinds of things we've been dealing with lately.

22 DR. VOEGELE: This is very appropriate. I was involved
23 in the DOE's position development at the time the unsaturated
24 zone amendment was issued by the NRC. They did a rule making

1 and asked for comments on what changes would be appropriate
2 for the unsaturated zone, and we reissued basically the
3 comments that the GS people worked on on the preparation of
4 this. And, in fact, we proposed a flux based performance
5 objective for the unsaturated zone. That proposal really
6 never went forward to the NRC, and the reason was the DOE was
7 dealing with having to make a decision between five sites at
8 that time, and they did not want to have one set of
9 performance objectives for one site and one set for another
10 site, because they did not believe they would be able to make
11 the trade-offs and pick a site.

12 And so the consensus was we could deal with the
13 unsaturated zone in the context of 10 CFR 60 as it said, as a
14 consequence. When 10 CFR 60 was amended for the unsaturated
15 zone, very few changes were made in it, and most significantly
16 there was no change made in the performance objectives.

17 MR. COSTIN: I have to defend myself a little bit.

18 DR. VOEGELE: It was not meant to be critical, Larry,
19 just a different perspective.

20 MR. COSTIN: I tried at the end of my talk at least to
21 give some of the spin that Mike Voegele repeated, in that yes,
22 indeed, the two things, the two bullets that he kept
23 mentioning, creation of new fractures and whether or not
24 fractures, open or closed, is the key issue in dealing with

1 those and the key uncertainty, I don't think anything I
2 presented said that we had a very good handle on that. And,
3 in fact, I tried specifically to make a point that we hope the
4 ESF testing program, and we had specifically designed several
5 tests in the ESF testing program to try to deal with that
6 issue and to look at changes in permeability and the effects
7 of thermal loading on a repository scale, or at least a room
8 scale.

9 DR. VOEGELE: I will publicly apologize to Larry. I did
10 not--let me tell you what's going on here. There was another
11 viewgraph in my package. Okay? And it was the one that
12 really said, well, you know what Larry was really talking
13 about was preclosure stuff, keeping these excavations open,
14 and I did not mean to imply he hadn't talked about the
15 postclosure. I meant to say that the real focus of his talk
16 was on stability. And I took that viewgraph out of my package
17 because what it was, it was a viewgraph that said here are the
18 things where high temperature reduces uncertainty or increases
19 uncertainty, and here are the things where low temperatures
20 increase or reduce uncertainty. And every time I looked at
21 that viewgraph, I said something different, and I did not want
22 to be held accountable for what I might say almost at random
23 standing in front of the board, so the safest way out was to
24 take that viewgraph out of that package and let you guys talk

1 about that.

2 DR. CANTLON: Well, let's bring this one to closure then
3 with Mike Cloninger.

4 MR. CLONINGER: Michael Cloninger, U. S. Department of
5 Energy. I don't really think we could ask for a better
6 summary than that just presented by Dr. Voegele. So with the
7 board's concurrence, I'd like to donate my remaining time to
8 lunch.

9 DR. CANTLON: Great suggestion. We'll be back here at
10 1:30.

11 (Whereupon, a luncheon recess was taken.)

12

13

14

15

16

17

18

19

20

21 AFTERNOON SESSION

22 DR. ALLEN: May we get underway, please?

23 I'm Clarence Allen, chairing the session this
24 afternoon, a round-table. The table's not exactly round.

1 Let me outline what the game plan we propose for
2 this afternoon is. Initially, we would like to have
3 presentations by five, so-to-speak, invited--or six, I guess,
4 invited speakers. Initially, I would like to ask our foreign
5 guests--perhaps in the same order they presented their
6 materials initially--to tell us whatever they would like to
7 say in terms of their reactions to the past two and a half
8 days or anything else.

9 I would like to follow that by asking Larry
10 Ramspott to comment. After all, he kicked off the session on
11 Tuesday morning, and I'm sort of interested in seeing what
12 his reaction is after the last two and a half days, and
13 finally, then, partly because the NRC was not represented on
14 the program itself, due to their own wishes, we do, though,
15 have Dick Codell, who would like to say a few words on behalf
16 of the Nuclear Regulatory Commission.

17 At that point, then, we will turn it over into a
18 true sort of round-table, and we are going to direct the
19 discussion here by asking three specific questions in order.
20 I will not give these questions now, but when the time
21 comes. We will ask for reactions, and I do know that if no
22 one in the audience has any comments in answer to these
23 questions, there are certainly people on the Board who do.

24 So let us proceed, and if I might first ask Nils

1 Rydell, since he was the first of our foreign guests, to give
2 any comments you might wish, and take however long you wish.

3 MR. RYDELL: Thank you, Mr. Chairman.

4 It seems almost preposterous to me to comment on
5 what has been said during these three days. I come here with
6 only very superficial knowledge about the Yucca Mountain
7 site, the concept of dry storage. I come with experience
8 from a cold, saturated condition, and we have been bombarded
9 with considerations, statements, questions, and uncertainties
10 and it's very difficult to sort out these things, so I can
11 say I really don't envy the Technical Review Board their task
12 to sort this out, because one of the impressions I get at
13 close distance is that with so many things being brought up
14 as uncertainties, and so on, it must be necessary to find
15 some kind of priority in the coming work in the order of
16 importance for the safety, whatever it is. Maybe there is
17 such a priority and it has not come out in the presentations.

18 And then, of course, if I comment--and then, as I
19 already said in my own presentation--I would comment from the
20 experience we have, which is different, and which may not be
21 applicable, and then I have two things I would like to
22 comment on.

23 One is this concept that since you have a
24 requirement to meet for the first 10,000 by regulation, it

1 seems to be then a very clever way to try to load this
2 repository with fuel which is aged so that the decay has
3 evened out a bit, and then there may be a chance that you can
4 keep it over the boiling point and keep it dry for these
5 10,000 years.

6 Now for us, 10,000 years is not a magic number, and
7 not for the spent fuel, either. The radioactive source term
8 will be almost the same, 20,000 years old; a little less, but
9 still very much the same 30 years later on. Now, that's very
10 distant in the future, difficult to grasp. We should feel
11 concern for people even at that time, and equally much in
12 that case for those who live 20,000 years from now on as
13 those who live from 10,000 years on, and then this has a
14 consequence.

15 I mean, if you want to fulfill the first
16 requirement, I think it should not be done at the expense of
17 safety after that period, and it was clear from Dr.
18 Ramspott's first slides that a hot condition in 10,000 years
19 calls for fuel about 250°C for, it could be a couple of
20 thousand years, at least. Now it has come out from other
21 presentations here, and it is also from our experience, that
22 that may not be such a good idea.

23 We have studied dissolution of radionuclides in the
24 fuel in an experimental program since some 12 years; in

1 water, in cold, obviously. We think we have started to learn
2 the mechanisms, and I won't go into detail about them, but
3 the rate of dissolution has very much to do with the area of
4 the fuel being exposed to water.

5 Now it's been stated in a presentation, and that's
6 with our experience as well, if you come about 250°C and you
7 have oxygen, in the presence of oxygen, then the fuel matrix
8 will re-crystallize from uranium dioxide to U_3O_8 , and in that
9 process, it is kind of loosened up, and we find that it's by
10 loosening it up that way that you expose radionuclides to
11 solution and, in fact, what you may have achieved by this is
12 perhaps a total safety for 10,000 years, which you pay for by
13 some, or perhaps even considerably more release of
14 radionuclides later on when the system may be saturated, and
15 I don't know if that is the best way to approach this problem
16 of satisfying the first 10,000 years of a functional
17 repository.

18 Another observation is in the, more or less in the
19 opposite direction, and in spite of all these many
20 uncertainties, there is one area which no one really dwells
21 very much upon. You call it the re-closure period, kind of
22 like a design term. I have myself been responsible for the
23 operation of one of our nuclear plants, and been project
24 manager for another, and in that capacity, you evaluate very

1 much flexibility of operation, accessibility, and room for
2 contingencies.

3 Now, in a nuclear plant that is limited by space
4 and backed by radiation, here you have radiation and we know
5 how to handle that, and that's perhaps not a big problem, but
6 in the hot concept, you also have to cope with temperatures.
7 Now, that depends on how you arrange the system. From some
8 of the slides, it was apparent that it's not going with
9 lightning speed, the heat front, but over even some decades
10 you will have--one or two decades--you will have pretty hot
11 conditions in the rock and in the areas.

12 One of the things I didn't mention in my
13 presentation as a design rationale, because it was not an
14 initial design rationale, but it came out kind of ex post
15 facto, our system with canister and compressed bentonite is
16 good from the quality assurance point of view, because you
17 can fabricate the engineered barriers under comfortable
18 conditions in a workshop, well-fed people, no physical
19 constraints or restraints or anything. They work under ideal
20 conditions, and then you can hope for a good result.

21 Here, you may have to let people work in physically
22 hard conditions, and I think that's a factor that should be
23 observed, and on the whole, I would like to see here this
24 period perhaps not called pre-closure but call it

1 operational, and have that in mind all the time, that the
2 most--the interesting period of the repository is now, when
3 you have these kinds of interesting meetings. The important
4 period is when you emplace the waste, because it is the way
5 the waste is emplaced that will be the starting condition for
6 the post-closure period.

7 And then to shift the perspective, also, I spoke
8 before about 10,000 years, 20,000 years. That's very long in
9 a distance. It's difficult to imagine, even. Perhaps we
10 take too much concern about that, but the operational period
11 is here and now at the place where people are concerned about
12 this repository, and you wouldn't like to--you will meet with
13 contingencies in this large operation. You wouldn't like to
14 be kept standing in a situation you haven't foreseen, and in
15 difficult conditions. You have to reassess. You have to
16 wait, and things can become very complicated. So I think
17 concern about the operational period should be in your minds,
18 not that you study them in great detail now, but you have
19 them with you all the time and think of how you want to run
20 that period in a way that gives the operational crew as good
21 possibilities as possible to fulfill their task to implement
22 this repository operation.

23 They were two of the reactions I got immediately.

24 DR. ALLEN: Okay. Thank you, Nils. I think we'll

1 forego any questions, since, hopefully, we'll have time later
2 on if questions do arise, and let me turn to Klaus Kuhn.

3 DR. KUHN: Thank you, Mr. Chairman.

4 Being a mining engineer and being responsible for
5 an underground research laboratory, I want to restrict my
6 comments on some selected aspects. There are quite a number
7 of underground research laboratories in the world for
8 radioactive waste disposal in operation. I mentioned I'm
9 responsible for the Asse Salt Mine, which is now in operation
10 for more than 25 years. We have the STREPA Mine in Sweden.
11 There is the underground rock research laboratory at Grimsel
12 in Switzerland, and our Canadian colleagues are operating an
13 underground research laboratory in Pinawa in Canada.

14 Let me call these laboratories those of the first
15 generation. The French have created the expression that they
16 are going to construct a research laboratory of the second
17 generation. Whereas, in the laboratories which I just
18 enumerated, it was clearly stated from the beginning that
19 they only serve RD purposes, the French approach is now
20 different. They are going to construct two underground
21 research and development laboratories in two different
22 geological media, doing or are going to do research and
23 development in these laboratories, and at the second time
24 they have another objective, to confirm, if possible, one of

1 these two sites in order to turn it later on into a
2 repository, and maybe I learned the last three days that you
3 are going to construct a laboratory of the third generation,
4 just going straight ahead for a repository at Yucca Mountain.

5 Having stated that I'm responsible for mainly
6 underground research and development, I think there's no
7 doubt about that it is very urgently necessary that the Yucca
8 Mountain Project needs to go underground. I think that is
9 necessary for mainly three objectives.

10 You have to generate your on-site data. All the
11 models which you are handling and which you are calculating
12 are only speculative. They fit in quite a number of data
13 from literature, from other sites, from other experiments,
14 but it is absolutely necessary to feed and to run the models
15 with site specific data as a complete set of aspects there.

16 The second objective is that you can only validate
17 your models on the site. You can develop your model. You
18 can test your model. You can run your model, but you can
19 validate it only at the site, which will be where it will be
20 applied.

21 And the third objective is, at least in my opinion
22 and due to my experience, you can reduce your uncertainties
23 quite a bit with the site specific knowledge, and I think
24 this will be true, also, for the site at Yucca Mountain, that

1 if you go down and get the necessary data, many of the
2 uncertainties which we have discussed the last three days
3 will be reduced a high amount, and there is an example in
4 your country available which was not mentioned very
5 frequently. This is the Waste Isolation Pilot Plant in
6 Carlsbad, New Mexico, also operated by DOE for the disposal
7 of transuranic wastes, and I think they make extremely good
8 progress going underground, doing the experiments
9 underground, fitting the data into the models, and even in
10 the site evaluation process, they could characterize the site
11 extremely well using the data which were generated
12 underground, and fitting into the model. So there is one
13 example which you should look closely to.

14 And because the Technical Review Board is reporting
15 to the President and to the Congress of the United States,
16 maybe you can influence Mr. Bush and also the Congress in
17 order to speed up the decision that the people on-site here
18 get the permission to go underground. I hope this is very
19 much so.

20 There were some critics this morning about the use
21 of the application of models. I think there is also no
22 dispute among the scientific community that we only can prove
23 long-term safety, especially for 10,000 or more years, using
24 models. So we have to rely on our models.

1 The best objective which we can follow and which we
2 can achieve is to diminish the grade of uncertainties in our
3 models as best as we can so that we can rely on our models.
4 We will never be completely successful. We will never have
5 the complete solution of all the uncertainties. There will
6 be uncertainties for the future with which we have to live.
7 The objective is that we can diminish these uncertainties,
8 and that we can show, even if we take into consideration
9 these uncertainties, there are no undue risks originating
10 from the repository calculated with these models and these
11 uncertainties.

12 One further item is more of a practical nature. We
13 have had some bad experiences dealing with the licensing
14 authorities and dealing with the public in our country with
15 regard to the dimensions of the Gorleben exploratory shafts.
16 It was finally decided that the shafts should already have
17 the final diameter of 7.5 meter, which they are going to use
18 for the repository purpose for the emplacement of waste. So
19 there was immediately up-springing a strong discussion, "Are
20 you going to investigate and to characterize your site, or
21 are you already starting construction of the repository?"

22 So that is a very difficult question. I don't
23 know--I'm not so familiar with the legal situation in your
24 country, but of course, we had some very strong legal

1 problems to solve this issue in our country. And also, I
2 think it will enhance public acceptance if you make a clear
3 distinction between a site characterization facility and a
4 repository.

5 One further item is waste emplacement technique.
6 We were told during the last three days the present concept
7 of disposing of single canisters holding one fuel element at
8 a time in one borehole drilled into the floor. I listened
9 very careful, but I think I didn't hear a rationale standing
10 behind this technical concept. I'm wondering if, also,
11 alternatives like drift emplacement or horizontal emplacement
12 in horizontally drilled boreholes are also under
13 consideration or have been investigated.

14 Again, there are examples available in your
15 country. The remote-handled waste in WIPP site will also be
16 disposed of in boreholes drilled horizontally into the
17 pillars in the salt for some specific horizontal reasons
18 there for the salt thickness, but also, our Belgian
19 colleagues consider horizontal emplacement of high active
20 heat-generating wastes in horizontal boreholes drilled into
21 the Boom clay formation underlying the site, where the former
22 Eurochemic Reprocessing Plant is located.

23 And one final statement I want to make about
24 retrievability. I am quite familiar that the 50 years period

1 for retrievability is prescribed in your regulations, but I
2 would like to ask if this is already a closed issue, or if it
3 can be thought over again, for many of the problems--also of
4 the thermal loading--can be at least ameliorated, if not even
5 solved, when you are not looking for such a long time of
6 retrievability. For instance, our German concept foresees
7 that we will mine the repository to the very far end from the
8 central shafts, then starting waste emplacement at the very
9 far end, backfill immediately the filled areas, the filled
10 panels, and then working backward from the outer boundary to
11 the shafts, and then, finally, when the repository will be
12 completely filled, filling up the shafts.

13 So in conclusion, I would ask if retrievability in
14 this country is already a closed issue, or if you can open it
15 again.

16 Thank you.

17 DR. ALLEN: Thank you, Klaus.

18 Let us turn to Gary Simmons.

19 MR. SIMMONS: Thank you, Dr. Allen. The advantage of
20 coming third, is that there may be some repetition.

21 I'd like to compliment all the speakers during this
22 meeting. I found it a very informative meeting and it
23 provided me with a broad update on many of the engineering
24 aspects in the U.S. program.

1 I'd also like to point out that as you receive my
2 comments, please keep in mind that I'm not intimately
3 familiar with your program, and much of what I say is based
4 on what I've heard in the last two and a half days.

5 In the letter of invitation that we received from
6 the Board, there were six questions asked that were to be
7 addressed at this meeting. I think, in fact, most of them
8 were addressed to a reasonable degree by the presenters
9 within and without the DOE, and I think very much information
10 was provided on the issues.

11 Prior to last night, though, when I re-read the
12 letter I received very carefully, I was expecting to hear
13 that there were thermal criteria that had been selected in
14 this program, at least at a conceptual level, and that some
15 repository designs had been developed based on those
16 criteria. However, in the presentations that I heard, I got
17 the distinct feeling that the DOE was reluctant to do that
18 because of the recent change in the integrating contractor,
19 and that that may, in fact, right now be a significant
20 uncertainty in the U.S. program.

21 On a similar subject, I sensed from the
22 presentations and from some of the responses to Board
23 questions that coordination and integration within the
24 program may not yet be effected completely. I must say,

1 though, that this is one of the best integrated presentations
2 I have heard on the U.S. program, but there were several
3 presenters' remarks that indicated that communication and
4 interactions might be further improved.

5 This isn't an issue that's unique to Yucca
6 Mountain. I think we all suffer to some extent from this,
7 but it's particular to Yucca Mountain in the sense that
8 there's significant geographical separations between the site
9 and the various program participants, and this, I think,
10 represents a serious management challenge.

11 To some more specific points, I was expecting at
12 least to see a simplified plan for establishing a preliminary
13 set of thermal criteria for the Yucca Mountain repository.
14 This was only really mentioned conceptually by Tom Blejwas
15 during one of his presentations. Based on his comments, I
16 gather, though, that this will have to await the integrating
17 contractor participating in the development of such a plan.

18 Although it may have been raised more frequently
19 than I noted in listening to the presentations, there was
20 little mention that I heard of design of tests for the in
21 situ work at the site to develop the link between laboratory
22 properties and in situ properties, and it wasn't clear
23 whether some of the lab data were based on confined or
24 uniaxial tests and, in fact, how closely representative the

1 lab tests were of the in situ condition.

2 I think the concept of alternative emplacements of
3 waste packages, such as the horizontal placement in drifts,
4 appears to offer some possible advantages in flexibility, and
5 possibly cost, and it should be studied further.

6 Conceptually, there may also be some benefits in the enhanced
7 cooling concepts. From my perspective, though, issues to be
8 considered would have to include layout and excavation
9 methods, waste package placement method, retrievability,
10 backfilling material and method, the safeguards aspects of
11 tunnel emplacement, and the effect of the enhanced cooling
12 system, other than ventilation on the placement and retrieval
13 operations, the system chemistry, and the overall system
14 performance, and as important as everything else, on the
15 cost.

16 Based on the discussions, I sense that the project
17 may be in a position where it's being forced into more and
18 more complex modeling, and more and more complex conceptual
19 assessment of the natural systems that exist or are perceived
20 to exist at the site, and that's because there's currently no
21 site access. I believe that a properly designed and well
22 integrated in situ testing program will aid in bounding the
23 issue of how detailed and complex a model must be to
24 represent a sub-system's performance adequately.

1 Some of the systems are so complex, that the data
2 cannot be gathered to calibrate the complex models that are
3 being thought of, at least I don't think it can be gathered,
4 and later, I don't think it can be gathered to be applied at
5 a site in a site specific assessment.

6 It's important that we all remember one comment
7 that I think Larry Costin made, that geo implies uncertainty,
8 and although the models are essential to the work we're
9 doing, they'll never be able to accurately simulate all the
10 processes. In the in situ testing and studies of the natural
11 system, efforts should be made to establish those processes
12 that are important enough to warrant modeling, and how
13 complex a model must be to adequately represent those
14 systems.

15 I'd like to close by complimenting the Yucca
16 Mountain Project and the non-Project speakers on the quality
17 and content of their presentations. I have found this
18 meeting very interesting and informative. I also would like
19 to extend my thanks to Don Deere and the other Board members,
20 and to the Board staff for their invitation to me to attend
21 and for the hospitality they have shown the international
22 visitors throughout the meeting.

23 Thank you.

24 DR. ALLEN: Thank you, Gary.

1 And our fourth foreign guest, Peter Stevens-Guille.

2 MR. STEVENS-GUILLE: Thank you, Mr. Chairman. I'd like
3 to do a "me, too" to those last remarks that Gary Simmons
4 made. We are very grateful, indeed. I didn't lose any money
5 last night, so I've only got two comments to make today. I
6 didn't win any, either.

7 One is about modeling. Modeling is going to be
8 with us, I am sure, for the long distant future, and getting
9 away from the sort of mathematical niceties of modeling,
10 we've got, all of us have got a very difficult job to do--or
11 some of us, anyway--a very difficult job to do eventually to
12 convince the public about the truthfulness and the veracity
13 of our models, let alone ourselves as technical people, and I
14 don't want to make a comment either one way or the other
15 about the hot repository, because I've only just been really
16 exposed to it for the last two and a half days, but there are
17 certain parts of it which are very compelling for the man in
18 the street or the lady in her kitchen or, you know, the
19 general public, and that is the idea that you keep things so
20 hot for so long, that they're not in contact in water and
21 they, therefore, don't corrode. Whether there's an internal
22 rain in the repository after 70,000's of years, I'm sure will
23 come up later this afternoon.

24 But we must be very careful, I would hope, in

1 selling these, compelling that it's perhaps the simplified
2 concepts to the public, if for only one reason: It's going
3 to queer the pitch of other international programs which
4 don't have the benefits of a dry repository.

5 I'd just like to make one other comment about the
6 MRS. It came up today, but only really in connection with
7 cost, but the aging of the fuel and the MRS are inextricably
8 linked, of course, so is underground emplacement and
9 ventilation, and so on, and I would just like to make the
10 comment that when you do the arithmetic and you come up with
11 these dreadfully crude numbers, they're not as bad as
12 kW/acre, but dollars per kilogram, which is a consistent set
13 of units, it's an extremely high cost for an MRS, and I would
14 hope that you'd be able to bring that down, because you are
15 ultimately responsible for taxpayers.

16 But anyway, that's a slight snide remark, but \$2
17 billion for the MRS is certainly not very cheap by anybody's
18 standards, and it is linked to this whole strategy that Nils
19 was mentioning of how one emplaces the fuel, so that, I
20 think, deserves a bit more discussion, possibly, at a future
21 meeting.

22 Thank you.

23 DR. ALLEN: Thank you, Peter.

24 Let me now turn to Larry Ramspott. You gave us a

1 somewhat philosophical and provocative introduction. We're
2 certainly interested in seeing how much provoked you were
3 during the meeting, provoked or soothed.

4 DR. RAMSPOTT: Well, before going to that, I would like
5 to make an observation. I think Carl pointed out that I'm
6 not representing the Department of Energy here today, and
7 haven't in the talks that I've given so far, but I would like
8 to point out that the draft mission plan amendment has been
9 released by the Department of Energy, and it's going to be
10 reviewed, in fact, later this month, and I think the latest
11 time for comments is something like November 7th, or
12 something like that, and on page 64, I'd like to note for the
13 Board and for members of the audience, on this particular
14 case, there are decisions related to design, and the first
15 one of these questions is: "Should the heat load of the
16 repository remain as currently conceived, or could an
17 advantage be obtained from lower thermal loading?", and then
18 goes on to several other questions. Nowhere in here is
19 higher thermal loading mentioned, and I think a lot of that
20 was discussed at this particular meeting, so that was the
21 first observation.

22 The second one was: "Should the waste package be
23 designed to exceed the regulatory requirements by a
24 significant margin?" I'm not sure that that necessarily

1 pertains to the subject today, but the last one is: "Should
2 the waste packages be emplaced vertically into the floors of
3 the disposal rooms, or horizontally into the walls of the
4 rooms?", and yet, again, many, many times in this meeting
5 we've heard that some form of emplacement in the drifts would
6 be very desirable. So it appears that at the present time in
7 the mission plan amendment, there isn't any consideration of
8 some of the things that we are talking about today, and I
9 just wanted to make that observation.

10 I only wanted to put this up for a moment, and to
11 say that basically, a year ago, I wouldn't have been able to
12 give the same type of talk, or do I think that some of the
13 talks would have occurred today. I've found the fact that
14 you can have this concept very exciting; in other words, what
15 we have been talking since 1982, we've been arguing about
16 whether or not we could keep the waste hot for 300 years or
17 1,000 years, but somewhere in that range, and not for the
18 longer time period.

19 And the idea of keeping it hot and dry for at least
20 the length of time that we are subject to the regulation, 40
21 CFR 191, is a very, very exciting concept to me, something
22 that I think answers a number of problems that we've had
23 earlier, and I think I'll come back to.

24 I only have two view graphs here. One of them was

1 I didn't get this one right when I went through the first
2 time in the talk, and I'd like to go back to it and say a few
3 more things about it, because I think it's a very key view
4 graph.

5 I pointed out that only three concepts address the
6 10,000-year isolation from a simple viewpoint. What I'm
7 talking about with a simple viewpoint is, that simple
8 viewpoint is basically your licensing strategy. Now, down at
9 the bottom here, I point out that the licensing strategy is
10 really a testable hypothesis. It's your primary testable
11 hypothesis, and I think having a simple licensing strategy--I
12 understand the comment about let's not get carried away with
13 things that are so very simple that people get turned off if
14 we find that there are things about it that aren't quite
15 right. What we need is a focus. We need a focus for the
16 entire program from the top on down.

17 What I heard--and I've heard at every meeting I've
18 ever gone to--is excellent technical work done by people who
19 really aren't connected right up to the license, and I think
20 having a testable hypothesis at the top that says: "Does
21 this work have anything at all to do with what we're trying
22 to prove in order to get a license?" This is what I really
23 mean about focusing the whole program with one or more
24 testable hypotheses. In fact, you'll have a large number, but

1 the idea of having a primary testable hypothesis--the reason
2 I only listed three of them when I first gave the talk was
3 that I only saw three feasible ones for the United States in
4 the Yucca Mountain Program, not that there aren't a series of
5 others for other types of media and other places in the
6 world.

7 I really felt that the partitioning, transmutation,
8 super container, and the hot repository for 10,000 years were
9 ones that I saw perhaps feasible for the U.S. program, but
10 not necessarily feasible for other programs, but there are
11 others in other places in the world.

12 What I tried again to do is to point out that these
13 things are something that you can say to the person sitting
14 next to you on the plane. They're things that Carl Gertz
15 could talk to the people when he goes around and talks to
16 various public meetings all the time. The partitioning and
17 transmutation, you simply reduce or eliminate the hazard by
18 reducing or eliminating the source, period. That's it.
19 That's the idea.

20 The super container concept is: the waste package
21 will hold the radionuclides until they become non-
22 radioactive; or at least until a substantial proportion of
23 them become non-radioactive.

24 The hot repository for 10,000 years: essentially,

1 we're saying that, above boiling, there's no liquid water to
2 corrode containers or dissolve and transport the waste.

3 Now, with respect to the international program, I
4 think there are, in these other media, simple, testable
5 hypotheses. With salt, basically, it's the idea that salt
6 deposits have been there for millions of years and will
7 remain there for millions of years, and I talked to Klaus at
8 times during the meeting, and he agreed that the top
9 hypothesis in the German program is the idea that the salt
10 has been there a very long time, and it will remain there a
11 very long time. Now, there are many, many other aspects to
12 the program, but that's the top level hypothesis against
13 which everything is judged.

14 I mentioned the unsaturated zone there. I wrote
15 that down. With granite, basically, there's a very small
16 quantity of water in granite, and it has a very low flow
17 velocity through the granite, and that is a very fundamental
18 feature which I think all of the countries that are working
19 in granite work with, and I have also observed that,
20 generally, the countries dealing in granite go back and use
21 the super container concept and put the two of them together,
22 so that they have two significant major hypotheses at the top
23 level.

24 So I only will make one other comment, and I've

1 been with the program for quite awhile, although lately, it's
2 been off to the side rather than in the mainstream, but I've
3 been, you know, working with it since early in 1976, and I
4 wondered where we went wrong with the unsaturated zone. Why
5 don't people really buy off on this? Why don't they think
6 that's a great idea?

7 And I think I see a licensing strategy evolution
8 for the unsaturated zone. When Ike Winograd and Gene
9 Roseboom and others were thinking about this back in the late
10 seventies, they weren't really thinking so much about heat,
11 and basically, one of Ike's original papers--I think it was
12 '78. I can't remember, but it was for low-level waste, and
13 also for toxic and hazardous waste, pointing out how good the
14 unsaturated zone is for things like that. You have a simple-
15 - for the unsaturated zone without heat, water won't contact
16 the waste, no water, no dissolution, no transport. That's
17 the testable hypothesis.

18 The thing that you're going to challenge--and, of
19 course, people will jump all over me about, what about this,
20 what about that, what about this, but it's the hypothesis
21 that counts. Well, what happened is, we got into heated
22 unsaturated zone, what I described earlier in my talk as in
23 the warm temperature regime, which is below boiling, when we
24 looked at that, the elevated temperature introduces technical

1 uncertainty, and the simplicity of the argument breaks down.
2 So we've been churning, since about 1983 or '84, we've been
3 churning up until the present time in this because we don't
4 have a simple argument because of the technical uncertainty.

5 Now, we did look at the idea, well, let's boil it
6 dry for--make it a thousand years hot. So we'll have a hot
7 repository, but it'll be for a thousand years. That's only a
8 partial solution for substantially complete containment. You
9 still need to demonstrate release control for the 10,000
10 years, and you still have to meet EPA Table 1, or the overall
11 systems performance objective, and still meet other things.

12 So this sounds nice, but it hasn't solved the whole
13 problem yet as a overriding, top down solution; testable
14 hypothesis. Now, if you go to the boiled-dry unsaturated
15 zone that's 10,000 years hot, I submit that we're back to the
16 water won't contact the waste, no water, no dissolution, no
17 transport, so I think we may have evolved back down for that
18 10,000-year period.

19 Now, I realize the other issues about what about
20 the fact that other countries look at two million years, and
21 a whole series of things like that, but I think we still
22 possibly have a top-level testable hypothesis for unsaturated
23 zone, and I think the only other one that we have a
24 possibility of in this country is the super waste package,

1 something that's really very simple coming down from the top.
2 But those, to me, would be--if you have to make a choice for
3 Yucca Mountain among these simple licensing concepts, I think
4 it's either the hot repository for 10,000 years, or the super
5 container concept. I don't think, either politically or
6 economically in this country that we're going to have
7 partitioning and transmutation. That's a personal opinion,
8 and I could be, you know, shown to be wrong in five or ten
9 years, and obviously, we're not in a salt repository. We're
10 not in a granite repository area.

11 So this may not be addressing directly the heat,
12 but what I'm trying to say is, how does the heat fit into the
13 fundamental, basic licensing strategy, which I think focuses
14 the program, and then people can begin to say, "Where are we
15 going? Why? What questions do we have to answer?"

16 So those are my comments. Thank you.

17 DR. ALLEN: Thank you, Larry.

18 And finally, among the sort of invited
19 presentations, Dick Codell will say a few things. Dick is
20 with the Nuclear Regulatory Commission.

21 MR. CODELL: I'm in the repository performance
22 assessment section at NRC. One of the issues that we, as
23 well as DOE and EPA are facing up to is the Carbon-14 release
24 and transport. Because of that concern, we've been

1 developing models for repository performance, and one of the
2 areas is in Carbon-14 transport.

3 Since the effects of heat on repository performance
4 is the topic of this meeting, I wanted to share with you some
5 very preliminary results. They're so preliminary, that I
6 hadn't prepared any presentation at all. I just put this
7 together last night. It wasn't really an invited
8 presentation, but I thought you'd be interested in hearing
9 it, with the following caveats, that it is very preliminary,
10 and this doesn't represent any NRC policy, nor is it
11 presently a part of our performance assessment, and unlike
12 Tom Buscheck's model, if someone had to ask me about the
13 pedigree of the model, I'd say my dog ate it.

14 (Laughter.)

15 MR. CODELL: The model is a very simple, one-dimensional
16 model; a finite difference with--which presently has 29 cells
17 in it, and the idea is that from a regional model of gas flow
18 in Yucca Mountain, you could take a flow rate of gas through
19 the bottom, and for this I used the model that was based on
20 Ben Ross's gas flow model for Yucca Mountain, generated a
21 uniform flow through the column, that as it changed, was
22 allowed to change with time, but it was uniform throughout
23 the length of the column.

24 At the bottom boundary condition, which is close to

1 the water table, you could put in a non-radioactive carbon
2 dioxide as a source term. At the repository level, you could
3 put in radioactive $^{14}\text{CO}_2$. These two figures show that the
4 temperature varies along the length, and also as a function
5 of time, and the saturation dose, too. I won't get into what
6 the exact values are. They are just approximate values that
7 were inputs for this demonstration.

8 The next slide talks a little bit about some of the
9 simplifying assumptions of the model. The assumptions are
10 you have instantaneous equilibrium between all of the
11 chemical species you're likely to find in Yucca Mountain, and
12 this is determined with a model, with a geochemical
13 speciation model that we wrote specifically for the job.

14 Carbon-14 is carried through as a trace element in
15 the general flow of all carbon, and it follows the dead
16 carbon in the liquid and in the solid. There is no
17 molecular diffusion. The gas flow is uniform, and only in
18 the upward direction, so some of these assumptions are
19 clearly not correct, because the gas flow around a hot
20 repository is rather complicated, but for the purposes of
21 this very preliminary analysis, I think it is okay to
22 proceed.

23 Now, one interesting thing about the carbon cycle
24 in the groundwater, I'm not a geochemist, but I understand

1 that it's pretty well understood. Of all the geochemical
2 systems, this is probably the one people understand best, and
3 the interesting thing is with the solid calcite, is it
4 behaves as--if you increase the temperature, it becomes less
5 soluble. So this is a key factor in the model.

6 We ran this model, putting in approximate values
7 for the chemistry from Yucca Mountain that we knew, and then
8 in the model, used the values of temperature and saturation
9 from other models, and this graph--which is a little busy, I
10 apologize--shows the total carbon, the total calcite in the
11 system as a function of distance from bottom to top. Maybe I
12 should put it sideways to illustrate that better, but what
13 happens is, as you start heating up the repository and drying
14 it out, it favors the formation of calcite.

15 You initially start with a small amount of calcite,
16 and as you heat it up and dry it out, the calcite increases
17 for a time as it heats up and dries out, and then starts
18 decreasing. So these are isotherms, if you will, of calcite,
19 total calcite in the system.

20 This next figure shows the decrease in the total
21 carbon in the liquid and gas phase in the column with time.
22 As the carbon goes toward the calcite, as it heats up, it
23 goes out of solution, and so the quantities of carbon in the
24 liquid and gas drop. This has great implications for the

1 transport of Carbon-14.

2 The next figure shows the transport of Carbon-14
3 and the general movement of carbon. Now, one of the key
4 things we found from this model is that it depends, really,
5 when you release the Carbon-14 into the model, what happens.
6 If you release it very early on, at time equals zero, that's
7 when things are happening fast. There's a lot of calcite
8 forming, and the Carbon-14 will get trapped into the calcite,
9 and this figure is for Carbon-14 in the calcite as a function
10 of position, and for lines of constant time, showing here at
11 100 years, there's this much calcite, ^{14}C in the calcite, and
12 it's increasing to 500 years. Then it starts coming down
13 again as the calcite re-dissolves into the liquid and gas.
14 So this ties up the calcite and gives you a large effective
15 retardation.

16 Now, instead of releasing at a time equals zero, if
17 you waited 1300 years, you get much less take up in the
18 calcite, because most of the calcite has already
19 precipitated. There isn't much available to take in the
20 Carbon-14. This little tiny blip which you can hardly see,
21 which is only about a factor of 20 less than what you get at
22 time zero, is the amount of Carbon-14 that's trapped in the
23 calcite for later times.

24 The next figure shows a breakthrough curve, not a

1 breakthrough curve, but the concentrations of Carbon-14 as a
2 function of time as it flows through the model. In this
3 example, I've put in 10^{-6} Curies of C-14 at time zero, and if
4 you look closely, you can see that it doesn't move very far
5 for quite a few years. Even at a thousand years, it's not
6 moving very far. This is because it's trapped in the
7 calcite, and then as it re-dissolves, it starts moving down.

8 Now, the bottom line of this analysis is that you
9 do get, with the simple model and with all the caveats
10 understood, that you can predict with this model quite a bit
11 of retardation, and it is very dependent on the temperature
12 and saturation conditions, which is why I'm bring it up in
13 this forum. This curve shows the cumulative release as a
14 function of time and at different points along the column,
15 this bottom line being at the end of the column, so if you
16 put the Carbon-14 in it very soon, you get quite a bit of
17 tie-up and very little will get out. This, I should say, is
18 release for 10,000 years as a function of when you release it
19 into the column. So if you release it at time zero,
20 virtually all of it gets trapped and does not ever get out in
21 10,000 years, but even if you release it later on, you're
22 still getting quite a bit of retardation, and so I think
23 there's hope here, if the model is correct, that there could
24 be some diminution in the releases of Carbon-14.

1 The last slide shows my conclusions, that you can
2 get significant amounts of C-14 retardation, and that the
3 process works best if the temperature increases and the
4 saturation decreases. I was very interested to see Tom
5 Buscheck's results there, because I didn't anticipate that
6 the zone of drying would be so large and so persistent. If
7 that is the case, then this would lead to the conclusion
8 that, yes, you could have quite a bit of tie-up of Carbon-14
9 in the earth that would not get out in 10,000 years.

10 I have one slide that is just provocative, I threw
11 in at the last minute, that shows an interesting effect.
12 When I was watching the presentations on the biological
13 effects of the increased heat loading, it occurred to me that
14 everyone was thinking only of temperature, but with this
15 model, if you have a large areal source of heat, and if
16 you're getting large amounts of calcite forming and gas
17 flowing through the mountain, it's a very interesting
18 phenomenon and this, I hope, is a true reflection of the
19 model, and not an artifact. But this shows the pH, actually,
20 the log of the activity, of hydrogen, as a function of
21 position along the column and time, and what this is showing
22 is that well above the repository, you're getting an increase
23 in pH.

24 What's happening here--this baffled me at first--is

1 that the carbon dioxide that's in the mountain is getting
2 stripped by becoming precipitated in the calcite near the
3 repository. The air that's stripped of carbon dioxide, to
4 attain equilibrium, is removing the carbon dioxide that's in
5 the rock above the repository, causing the pH to drop, and I
6 thought that this extended all the way to the surface and
7 might be, in fact, a phenomenon that you'd have to deal with
8 as an effect of repository heat.

9 Thank you for giving me this opportunity, and I
10 wanted, also, to thank my DOE colleagues for helping me make
11 these overheads at the last minute.

12 DR. ALLEN: Thank you, Dick.

13 MR. CODELL: I'm sorry. I should also say that my
14 colleague, Bill Murphy at the Center for Nuclear Waste,
15 Regulatory Analyses, was responsible for a large part of this
16 modeling effort.

17 DR. ALLEN: Thank you very much.

18 I think we'll move directly on into the questions
19 that we have posed and what reactions you people might have.
20 Might I ask, in particular, that the people who are speaking
21 go to one of the mikes. Well, there is one mike out there in
22 the middle of the floor, and in particular, identify
23 yourself.

24 The first question that we have is perhaps no great

1 surprise. It's been touched upon by several people, but let
2 me simply ask this, or let us ask this: The analyses to date
3 have assumed a specific waste emplacement concept; that is,
4 vertical borehole emplacement. Should not other emplacement
5 concepts be analyzed; such as, drift emplacement, pre-closure
6 ventilation, shielded waste containers?

7 Now, might I ask if someone would like to comment
8 on that? Max?

9 MR. BLANCHARD: I'll be glad to, but I think the answer
10 is obvious, Clarence. Yes, and we intend to do that, and
11 this meeting comes at a very timely stage in the maturation
12 of the program, because I think you've found, as a
13 consequence of the talks that were presented by the team that
14 represents the studies of Yucca Mountain and the conceptual
15 repository designs, that we have been moving ahead in this
16 area, perhaps at a faster rate than the rest of the
17 repository concept system, and that the MRS and the
18 transportation aspects aren't yet as mature, and we're
19 groping for some answers that we can't yet achieve or acquire
20 for two reasons: One, we haven't characterized the site
21 enough to really know that we have mature models and are
22 using meaningful data; and two, the rest of the parts of the
23 design of the transportation and the MRS and the linkage to
24 the utility dry storage haven't matured enough so that we can

1 really make system tradeoff studies.

2 But there's every intent within the repository
3 program to keep all of the waste emplacement alternatives
4 viable from a conceptual standpoint, so as the rest of the
5 components of the system go through maturation phase, that we
6 will be prepared to feed that information in to produce
7 viable tradeoff studies, and certainly, emplacement in a
8 drift is one of the things that needs to occur in terms of
9 design studies.

10 DR. ALLEN: I believe the mission plan amendment
11 alternatives that Larry mentioned were--was it inadvertent
12 that they were quite so restrictive?

13 MR. BLANCHARD: Yes, I believe so.

14 DR. BLEJWAS: Tom Blejwas from Sandia.

15 I just wanted to make sure that everyone realizes
16 that we have spent quite a bit of time looking at two
17 emplacement strategies, horizontal and vertical, and some of
18 that's published and some of it isn't, and that we have
19 considered the thermal in looking at both of those, thermal
20 questions.

21 The other thing is, we have looked at ventilation
22 systems to a fair degree of detail in our conceptual design
23 for a repository, and among the kinds of things that we've
24 looked at are the idea of blast-cooling areas, so that if we

1 have to go in and retrieve, that we would be able to reduce
2 the temperatures to an acceptable level for human beings in
3 the retrieval process, and so we have considered some of the
4 safety issues relative to ventilation and the temperatures
5 that we would have in a repository. We just didn't go into
6 the detail on that in this meeting because it had been
7 covered at previous meetings.

8 MR. JARDINE: I think I'd like to make a comment along
9 the lines to assure you that the Department does have a plan,
10 you know, the waste package plan, which had been briefed to
11 the Board, and had a process, and it was looking at a range
12 of alternative and emplacement concepts, and I think as many
13 as six of the Board members were at Denver in that workshop,
14 and that process was in place and going on to look at
15 systematically a range of emplacement alternatives, including
16 the drift emplacement concept.

17 But due to the, you know, the budget situations of
18 July 31st, and the reprogramming, that process has been put
19 on a hold, from my perspective, with this fiscal year, and
20 that there is a waste package plan. A process was
21 implemented to look at the range of those concepts and bring
22 them in, and because of the budget prioritization this year,
23 the decision was made layers way above me that put that plan
24 and the implementation on a hold pattern, and so I just

1 wanted to amplify that that, indeed, was there and many of
2 the Board members are a part of that process, and we did
3 document the status of that in the focus meeting last week.
4 There was a paper given that documented the progress of that
5 system engineering approach, to look at a host of emplacement
6 alternatives.

7 DR. PRICE: Is it a relatively fair statement to make
8 that while certain parts of the program may go on hold
9 because of budgetary constraints, that there are certain
10 dates that do not necessarily go into slip, because these
11 programs go on hold; such as a 1998 date, and that in the
12 process of holding one part of the overall project and not
13 allowing slip on other dates for whatever reasons that may
14 be, the systems integration then gets confounded.

15 MR. BLANCHARD: You're quite right.

16 DR. PRICE: That comment whispered in my ear, which it
17 does regularly, for similar reasons.

18 DR. ALLEN: Other comments from the front table?

19 (No audible response.)

20 DR. ALLEN: Okay. Another question: To what extent do
21 thermal loading considerations enter into evaluation of site
22 suitability? Tom?

23 MR. BUSCHECK: I'd like to comment how I think our
24 continuing input will influence that. I think we've been

1 pointing out over these last couple of years that fracture-
2 dominated flow is the single most important repository
3 performance issue.

4 If you're considering a cold repository site,
5 fracture-dominated flow, or continuous preferential fracture
6 pathways is obviously, you know, a very serious problem.
7 We've been showing, through our dimensional analysis under a
8 wide range of thermal loads, that under high thermal loads,
9 continuous high conductivity fractures actually can improve
10 performance. Therefore, in site suitability, there are no
11 single-valued answers. I mean, I shouldn't say that, but on
12 certain issues, the answer is not single-valued. So
13 therefore, in terms of site suitability, the answers have to
14 be answered with respect to what thermal scenarios and other
15 considerations, because as we've been showing in certain
16 scenarios, the hydrothermal system completely dominates the
17 ambient hydrological system.

18 DR. DOMENICO: If you can theoretically design such a
19 system to keep the temperatures high for a prolonged period
20 of time, assuming that you find that's desirable, how about
21 these heat pipe, natural heat pipe effects that might
22 circumvent all your good intentions in the long run?

23 MR. BUSCHECK: Well, it wasn't our intention, but, in
24 fact, the model calculations I presented yesterday had a

1 very, very vigorous heat pipe occurring. I didn't point it
2 out. It was occurring in some of the high thermal load
3 cases. The heat pipe was extending over 100 meters in
4 height. We had a very, very--and I could show you some
5 examples if you would like to see right now, just to verify
6 what I'm saying. Would you like those?

7 DR. DOMENICO: No, no. You could still maintain design
8 temperatures, even though these--

9 MR. BUSCHECK: Well, our models, the model results you
10 saw yesterday occurred with a very substantial heat pipe
11 effect. The reason why it was so substantial is, as I was
12 pointing out, the models that we use are equivalent continuum
13 models, and the condensate flow, the vapor that was moving
14 above the boiling region was condensing and staying within
15 the matrix. That saturation above the boiling zone was
16 approaching 100 per cent saturation almost continuously
17 during the boiling process. It was continuously being
18 conducted back in the fractures. We had a very vigorous
19 gravity-driven heat pipe effect, which actually can be much
20 more vigorous than a imbibition effect, imbibition-driven
21 effect, but actually, we had both an imbibition and a
22 gravity-driven heat pipe, which was actually greatly
23 mitigating the net dryout rate.

24 DR. DOMENICO: Could you comment on what you would

1 anticipate if you had representation of the fracture network
2 instead of the continuum-based model?

3 MR. BUSCHECK: My feeling is that we would have a much
4 larger dryout volume; that if, in fact--and we will in the
5 future account for non-equilibrium fracture matrix flow. In
6 non-isothermal situations, we will find that we can, I think,
7 rigorously--also at invalidated models--show that much of
8 that condensate will have shed off the boiling regions
9 through cold spots between panels or between emplacement
10 drifts, or off the edge of the repository. So what we'll
11 find is that there's actually much less water available for
12 heat pipes.

13 So, to date, our calculations account for a heat
14 pipe effect to its maximum possible extent, and nonetheless,
15 we see very persistent dryout.

16 MR. BLANCHARD: I'm glad you asked that question about
17 site suitability. I'd first like to take the opportunity to
18 make sure that our visitors understand that the Department
19 has a iterative process, rather formal process for
20 determining site suitability, with specific criteria in mind,
21 and that, indeed, we've not made a decision to build a
22 repository at Yucca Mountain, and that's one of the reasons
23 why these repository design and the waste package design are
24 very, very advanced, conceptual in nature at this stage, and

1 indeed, we've not yet decided that Yucca Mountain is
2 suitable.

3 As a part of John Bartlett's program, he has the
4 engineers and the scientists in this program embarked right
5 now on a site suitability analysis, one which is more
6 advanced than the one that was published some five years ago
7 in the environmental assessments, and it has been prepared
8 and analyzed. It's been technically reviewed by a group of
9 independent people, and it's now in the hands of some dozen
10 or so university people around the country who have different
11 disciplines in each one of the criteria, and I think that
12 perhaps the manager of that effort, Jean Younker, could share
13 with you all how thermal effects have been treated or
14 analyzed in the site suitability assessment that's currently
15 going on.

16 DR. ALLEN: Jean, would you be willing to do so?

17 MS. YOUNKER: Well, the DOE siting guidelines, 10 CFR,
18 Part 960, do include several specific criteria that address
19 thermal effects and I think the Board's already been briefed
20 on this a couple of times fairly recently, but for everyone
21 else, the siting guidelines include a couple of criteria
22 where you're asked to look at, really, a combination of
23 effects, where you look at the effects on the rock material
24 in the pre-closure period in terms of thermomechanical

1 response, stability effects, you know, the kind of the, will
2 the rock handle this heat load, whatever heat load you assume
3 you're going to put in, and that's the way we, in this
4 current evaluation, we've used the conceptual design
5 assumptions that Max mentioned.

6 So the pre-closure time frame, you ask, really, the
7 questions that our people here presented and talked about in
8 terms of: Can the rock accommodate the thermal stresses?
9 And it's really asked in a coupled fashion in the criteria.
10 For the post-closure, the same sort of question is asked:
11 How will the rock respond to the long-term thermal impact
12 that you're asking it to obtain, and there are some other
13 guidelines or criteria where the thermal effect kind of must
14 be considered, because the 960 criteria ask you to look at
15 the total system response, so kind of in the same way that
16 Mike Voegele laid it out for you this morning in his three-
17 dimensional block diagram, we, on this team that Max just
18 mentioned, had to go through that type of thought process in
19 terms of what potential thermal effects would do to total
20 system performance, and to any of the other performance
21 objectives, because DOE's siting guidelines really adopt the
22 performance objectives of 10 CFR, Part 60, NRC's criteria, as
23 the overlying criteria that we have to meet, with the
24 assumption, of course, that you don't want to make a decision

1 that you have a suitable site if it isn't also very likely to
2 be a licensable site.

3 I could answer questions, but that sort of gives
4 you a summary of how we've looked at it in this current site
5 suitability evaluation.

6 DR. ALLEN: There's a question or a comment back on the
7 right there.

8 DR. ROSS: Ben Ross, Disposal Safety.

9 I wanted to make just a general cautionary comment
10 about this. I think a lot of the issues that we've been
11 debating are generic to unsaturated zone sites, and not
12 specific to Yucca Mountain. I think you have to bear in mind
13 that any unsaturated site is going to have a high
14 permeability, for the very simple reason that if it has a low
15 permeability, it won't drain and it won't be unsaturated, and
16 a lot of these phenomena are going to be there in one form or
17 another in any highly-permeable, thick unsaturated zone.

18 And in thinking about what implications you draw,
19 if you see something here, you have to ask: How does this
20 balance off? Is this specific to Yucca Mountain, or is this
21 a general aspect of being unsaturated? And if it's a general
22 aspect of being unsaturated, you have to balance it against
23 the intrinsic advantages of an unsaturated site, many of
24 which, I think, are not fully captured in the regulations.

1 So I think one should not be quick to leap to conclusions.

2 DR. DOMENICO: Ben, we don't have too many unsaturated
3 sites, other than Yucca Mountain, that are unsaturated for
4 several hundred meters. So the Yucca Mountain is almost--or
5 at least this part of Nevada represents almost some unique
6 conditions, I would say.

7 DR. ROSS: Well, I think one basis of comparison should
8 be the suggestion that Ike Winograd made of burying it less
9 deeply in one of the unsaturated, you know, one of the
10 valleys in the basin and range, the closed basin and it has a
11 deep water table in the alluvium, and I think if you do that
12 --I haven't really looked at that from a heat point of view,
13 but I've looked at it from a Carbon-14 point of view, and not
14 in the sense of doing calculations, but just at a first
15 glance, it looks like Yucca Mountain is terrific for Carbon-
16 14 compared to putting it in a shallower alluvium.

17 DR. DOMENICO: Well, that's interesting. I'm glad you
18 brought it up, because most people don't realize that Ike's
19 first idea was to put it either in Yucca Flat or Frenchman
20 Flat, and not Yucca Mountain. We have a very deep water
21 table there, and I do recall that that site was thrown out
22 because some genius put limiting criteria on the thermal
23 conductivity of sites, and that just fell out. It just
24 wasn't conductive enough, and it was gone, and so his ideas

1 of unsaturated zone did not originate in Yucca Mountain.

2 They originated out there in the flats.

3 DR. ALLEN: Steve Frishman wanted to say something. He
4 had his hand up.

5 Steve?

6 MR. FRISHMAN: I think your current question about how
7 thermal loading, or the issue of thermal loading affects site
8 suitability is probably the key one that's going to last for
9 quite awhile.

10 I can see that we have now a process going with the
11 Department of Energy trying to figure out how to use its own
12 regulation or guideline. We see 10 CFR 60 regarding its
13 statements and non-statements about thermal loading, and then
14 we see what has gone on here for the last three days, which
15 we'll cynically call "tunnel fever," but I think there are
16 some other things going on, too.

17 It points out that what's been happening between
18 this discussion and the realities of moving towards
19 determination of the suitability of a site for whatever
20 reason, is a conflict that I don't see is resolvable, and
21 that's that everything that has been discussed here for the
22 last three days revolves around the concept of thermal
23 loading being a design factor in a repository, and what good
24 you can get out of it. It's almost like, you know, you hate

1 to throw away the battery in the car until you've got the
2 last electron out of it, and so how do you use that remaining
3 heat to solve some of your other design problems, or to
4 enhance design, and in concept, it's not bad. You've got a
5 resource there, and you can treat whatever, you know,
6 whatever your product is, which is disposable, you can treat
7 portions of that as resources and do a net balance on it and
8 have pluses and minuses and see how it works.

9 The regulatory world looks at it in an entirely
10 different way, and I think Jean reflected that in her
11 comments about what the site suitability evaluation is going
12 through. The regulatory world generally, in 10 CFR 60 and
13 DOE's guidelines, generally look at thermal loading as an
14 impact to be dealt with. So now we have most of the people
15 in the room saying it's a resource, but at the same time, the
16 real decisions on whether you're going to be able to use that
17 resource--say that it's an impact. Now, how do you reconcile
18 the two of these?

19 And I'm not sure that it's entirely, as was
20 suggested, something generic to an unsaturated site that has
21 brought all this up. I have been taking part in EPRI's
22 discussions about the EPA rule, and the extent to which it
23 needs to be changed, and one of the things that I've--just an
24 interesting bridge between the meeting two weeks ago and the

1 meeting today is a good part of that meeting was taken up
2 with potential problems of ¹⁴C because of an unsaturated site,
3 and is this a problem of the rule, or is it a problem of the
4 site, or is it a problem just of design.

5 Well, this meeting is a real dichotomy compared to
6 that. Here there has been a very obvious effort to ignore ¹⁴C
7 until about ten minutes ago, and you'll notice that
8 essentially every model that you saw and every product of a
9 model that you saw ignored ¹⁴C.

10 What I'm leading to is that site suitability
11 determinations are the way the administrative process has set
12 out to determine whether you're going to go further with any
13 site--whether it's Yucca Mountain or any other site that
14 someone happens to either pull out of a hat, or maybe,
15 ultimately, probably after my lifetime, bring out of a
16 rational screening process. The question is, are we going to
17 try to drive the regulation to meet the discussion that has
18 been going on in this room about the use of the waste as a
19 resource in disposal, or are we going to turn around in the
20 other direction and try to live with the regulations that are
21 out there, and this is the big question that's up right now
22 as far as I'm concerned, relative to thermal loading.

23 If you, as erudite as the discussion has been in
24 this room, if you take the concept of thermal loading,

1 meaning just in general terms, keeping the repository horizon
2 above the boiling point of water for over 1,000 years, if you
3 take that concept to the first person on the street outside
4 this room, I think you'll find you don't have any
5 credibility, and regardless of whether you think it's right
6 or not, whether the science is good, whether the engineering
7 is good or not, you're going to have a real problem with
8 that.

9 And I can give you another example of how that
10 happens in terms of public credibility. When I worked in
11 Texas, the concept was to look at a freezing method for shaft
12 construction. We know it's been done before. We know
13 relatively what the success rates are. We know that there
14 has been at least one partial failure relative to the nuclear
15 program with the freezing method.

16 The people heard, understood, DOE put on paper that
17 they were intending to use a freezing method to get through
18 the aquifer at the Deaf Smith County site, and credibility
19 was gone immediately. So while there may be some value in
20 looking at maybe a frontier area, or even, you know, the
21 latest accepted technology on what you think you can do, you
22 still, just as one of our speakers earlier said, you still
23 have to make the public believe that it can be done that way,
24 and that it's not just a way to be able to keep going and

1 tell the people, "We know better than you. It'll be all
2 right." Because the Department of Energy doesn't have that
3 reputation, and can't afford to try it again.

4 So, now, let's go back to the real question. The
5 real question is: Are you going to take a highly modeled,
6 highly speculative, and, as someone said, you'll never be
7 able to collect enough data to prove up these models that
8 we've been looking at, just in the rudimentary forms, in the
9 last few days. Are we going to use that as the explanation
10 to the world that we are going forward with an even more
11 complex system than we thought we had before, or are we going
12 to live with the regulations, or are we going to change the
13 regulations?

14 Somehow, it's got to fit together, and until it
15 does fit together, this whole program is going nowhere, and I
16 think we all understand it and I think, you know, you must
17 recognize right now that the State of Nevada is, at least to
18 some extent, a principal in the rate at which this program
19 moves or doesn't move, and it's the people of the state who
20 drive that. It's the people in the country who drive that,
21 and if you want to change the regs, get out there and change
22 the regs. Don't ignore them. If you don't think you need to
23 change the regs, get the program into a shape that is at
24 least understandable to people, believable to people, and is

1 subject to validation, which right now, I think everyone in
2 the room admits is probably not subject to validation,
3 because none of us are going to live long enough to validate
4 some of these codes that are being used just to get
5 underground.

6 I hope I've upset everybody enough.

7 DR. ALLEN: Thank you, Steve.

8 Max was next in line.

9 MR. BLANCHARD: Well, I first wanted to point out, based
10 on something that Pat mentioned about uniqueness of Yucca
11 Mountain, and that is it may not be that in this part of the
12 country, Yucca Mountain is all that unique.

13 As I recall, back in about 1983, the USGS started
14 screening the United States for unsaturated zones that they
15 thought offered potential with the concept that was brought
16 forward by Ike Winograd and others, and I think Gene Roseboom
17 can probably refresh ourselves better than I can, but they
18 issued a Province 9 Screening Report, which was the
19 southwestern United States, and found a very large number of
20 localities that fit their screening requirements for low
21 precipitation, high altitude above the water table, and
22 appropriate rock characteristics that would be relatively
23 freely draining, and high thermal properties, and Yucca
24 Mountain was not identified as the best in that screening

1 report, but it was identified as one among many that fit into
2 that criteria.

3 And so it's not altogether a natural conclusion
4 that if we decide Yucca Mountain doesn't have suitable
5 attributes, that that would necessarily be the end of the
6 concept of trying to place a repository in the unsaturated
7 zone.

8 DR. DOMENICO: I didn't intend to mean that.

9 MR. BLANCHARD: Okay. I didn't think you did.

10 DR. VOEGELE: Without meaning to take exception to Mr.
11 Frishman's discussion, I would like to make sure that the
12 record includes at least three pieces of the regulation,
13 relatively quickly following Mr. Frishman's discussion, that
14 probably put a little bit different light on the way one
15 might interpret what we're trying to do today.

16 This is 10 CFR 60.133(h). It's entitled,
17 "Engineered Barriers. Engineered barriers shall be designed
18 to assist the geological setting in meeting the performance
19 objectives for the period following permanent closure." I
20 don't believe that says you shouldn't use heat. I think it
21 says you should use the engineered barrier system to the
22 extent that you can to assist the natural barriers.

23 There are two others that are quite comparable.
24 This is 133(i). "The underground facility shall be designed

1 so that the performance objectives will be met, taking into
2 account the predicted thermomechanical response of the host
3 rock and surrounding strata, groundwater system." Once
4 again, it does not say you can't use that heat to meet those
5 performance objectives.

6 Finally, 133(a), the general criteria for the
7 underground facility. "The orientation, geometry, layout,
8 and depth of the underground facility, and the design of any
9 engineered barriers that are part of the underground facility
10 shall contribute to the containment and isolation of
11 radionuclides." I'd just read that in as factual
12 information.

13 DR. ALLEN: Jean?

14 MS. YUNKER: Just a follow-up comment to what Mike
15 Voegele just said. He was commenting about 10 CFR 60, the
16 NRC's regulation. I'd like to go back to 960 with you for
17 just a minute and mention that 960 really has that same
18 flexibility that Mike is just talking about in that it allows
19 you the tradeoff. It certainly never says that you must only
20 look for negative impacts. They can, as well, be positive
21 impacts.

22 So in the way that the team I've worked with has
23 conducted the current evaluation, we have certainly
24 considered both potential positive and potential negative

1 benefits of the thermal aspect of the repository. So I think
2 the Board probably would remember that in the post-closure
3 evaluation for rock characteristics, we actually took a
4 fairly aggressive and quite optimistic viewpoint of post-
5 closure performance from a rock properties, rock
6 characteristics viewpoint, and it was really precisely for
7 some of the reasons that were discussed here in the session
8 the last day and a half that we took that position.

9 MR. DANKO: George Danko, Mackay School of Mines, Mining
10 Department.

11 I would like to make a general comment. Of course,
12 I mean, the general question of site suitability and heat
13 load, personally, I'm developing a feeling that many of the
14 interesting programs are driven by budget constraints and
15 moving into directions where work has to be phased and cannot
16 be done in the right course and right time, and then I'm just
17 wondering if the concerns, the interesting questions about
18 ventilation, providing a healthy underground environment
19 during site construction and waste emplacement will be
20 appropriately investigated in this phase of the work, and the
21 better that we can answer questions concerning climatization
22 underground and enhancement of underground environment.

23 DR. ALLEN: Tom Buscheck?

24 MR. BUSCHECK: This is kind of in regards to a back to

1 nature approach to model validation. This is a numerical
2 experiment. It's not meant to represent what the travel time
3 of the water table might be. I was hopefully getting across
4 to most people that our feeling is that the high thermal
5 loads mitigates against the impact that fracture-dominated
6 flow has, in the fact that it's very spatially and temporally
7 variable.

8 What we have here are three examples of a 100
9 micron fracture, where we have hypothetically assumed a
10 direct pathway to a water table. It's, you know, a very
11 extreme example, and the only point that I want to make here
12 is the incremental impact that the upper Calico Hills has on
13 the travel time of a particle through this numerical
14 experiment.

15 In this case, the upper vitric Calico Hills--in
16 other words, that which has not zeolitized--is 40 meters
17 thick. Here it's 4.6 meters thick, and here it's not
18 present, and all three conditions can apply at Yucca
19 Mountain. In fact, I think it can be much greater than 100
20 meters thick.

21 You can see that because the matrix-dominated flow
22 occurs within this horizon, that it tremendously attenuates
23 the ability of the fracture pull, so we would require a
24 continuous source of water for 44 years to break through to

1 the water table. Where it's not present, it takes 52 hours
2 in this numerical example. Now, again, this is just to show
3 the incremental impact of the matrix properties. This is a
4 point that I've been making, hopefully, continuously, that
5 the single most uncertain, difficult to model feature of
6 Yucca Mountain is the dis-equilibrium between fracture flow
7 and matrix flow, and in many places in Yucca Mountain, we get
8 very favorable interaction.

9 This condition, or much thicker than this, extends
10 over a fair degree of the repository block. If we consider
11 the fact that we can, under some thermal scenarios, go to a
12 smaller footprint than where the repository lies, this is an
13 example relative to the SCP-CDR, where we're using 100 per
14 cent of that conceptual design. This is the proportion of
15 that area that would be required for a variety of thermal
16 loads, from 20 to 100 kW/acre, 10 down to 100-year-old fuel.
17 You can see that in certain scenarios where you age the fuel
18 and put it in under high APD's, you have reduced the areal
19 requirements by 85 per cent.

20 So therefore, certain features of the mountain
21 which we can show in site characterization to be more
22 favorable, can be part, possibly, of the siting process, of
23 placing where the repository is. But basically, the main
24 point that I want to make is because what we've been finding,

1 that boiling conditions and persistent dryout effects greatly
2 attenuate the impact of fracture-dominated flow, and we feel
3 these effects can be much more readily validated through the
4 course of in situ testing by heating and boiling of large
5 volumes of rock.

6 We feel, at least those of us that are familiar
7 with the modeling outcomes of these, would like to see the
8 opportunity to validate these in situ, and at least consider
9 it as an option in what licensing strategy may ultimately be
10 used. We're not suggesting that it be the only one. I think
11 the best approach is to use whatever approach gives us the
12 most certain and the least impact on the environment. But
13 anyway, I just wanted to point out that we feel that
14 thermally perturbing the environment can lead to models which
15 are more validate-able, and therefore, less subject to
16 uncertainty.

17 Thank you.

18 DR. ALLEN: Thank you.

19 There was a hand up over here. Larry?

20 DR. RAMSPOTT: I just wanted to make one comment to what
21 Steve Frishman mentioned, and he sort of had the built-in
22 assumption in his comment that Carbon-14 is going to get out
23 of this hot repository concept, and although there wasn't a
24 great deal of it mentioned in the last several days, I think

1 that it's entirely possible that we could meet the
2 regulation, either NRC or EPA, given the hot repository
3 concept with respect to Carbon-14. It isn't a foregone
4 conclusion that it's all going to get out and go to the
5 surface.

6 DR. ALLEN: Other comments? Gene Roseboom.

7 DR. ROSEBOOM: I would just like to make an addendum to
8 Tom's statement there. The concern over fracture-dominated
9 flow, I would just like to remind you that this is not
10 something that's going to go on continuously, but would occur
11 only when you had major precipitation events, because the
12 repository normally would be drained, and the water would
13 move through rapidly, but they would be relatively short-
14 lived events that presumably would pass most of the canisters
15 fairly quickly.

16 MR. BUSCHECK: As I was pointing out yesterday, the rate
17 of net condensate flux in some of the higher thermal loading
18 scenarios was orders, several orders of magnitude higher than
19 what's currently considered to be the average areal net
20 infiltration rate at Yucca Mountain. One of the useful
21 things we can do in site characterization is to get a
22 reasonable estimate of that value, and to try to project it
23 into the future.

24 My feeling is we're going to still find that under

1 pluvial conditions, the net infiltration rate under extreme
2 climate variation will be much less than the net condensate
3 generation under certain high thermal loads. So, therefore,
4 the impact of a climate variability will be almost lost in
5 the noise relative to what the hydrothermal system can be
6 doing to the hydrologic environment.

7 DR. ALLEN: Steve Frishman.

8 MR. FRISHMAN: Just one short comment.

9 In light of what Larry Ramspott just said regarding
10 C-14, it may be advisable for the Board to go back into its
11 previous reports and consider a revision of its statement
12 about C-14 and the EPA rule.

13 DR. ALLEN: Other comments or questions?

14 In order to stay a little bit directed, let me ask
15 if anyone has any specific questions to Dick Codell. We
16 passed over his without asking questions after he spoke.
17 Does anyone have any particular questions or comments on
18 this?

19 DR. LANGMUIR: Don Langmuir for Dick Codell.

20 I guess I'd like to know a little more about the
21 assumptions inherent in the model that Dick described; in
22 particular, the interplay between the stable and the C-14
23 carbon isotopy and how that's dealt with in the model.

24 MR. CODELL: There's nothing much very magical about it.

1 The Carbon-14 is considered to be a trace; that is, that
2 there isn't enough of it there to change the bulk chemistry
3 in the rock, but it's assumed that it moves with the dead
4 carbon into the calcite when that's precipitating, and out of
5 the calcite, into the liquid and gas when it's coming out.
6 So that's about the extent of the assumption.

7 DR. LANGMUIR: Another related question has to do with
8 the amount of calcite, the attenuation will relate to the
9 amount of calcite you can precipitate from the existing
10 moisture or the recycling moisture. I presume that's part of
11 what you calculated?

12 MR. CODELL: That's right. The biggest unknown,
13 probably, is how much calcium is in the rock in Yucca
14 Mountain, and that varies from place to place, I'm sure, but
15 if you don't have enough calcium ions there, you're not going
16 to precipitate any calcite. But the model takes care of
17 that. It knows when it runs out of calcium ions.

18 I might point out that this model is the subject of
19 two upcoming presentations. I'm scheduled to give one, if it
20 was accepted, at the High-Level Waste International Meeting
21 in Las Vegas in April.

22 DR. ALLEN: Thank you.

23 We've had a number of comments on this question of
24 site suitability in relation to thermal loading. Let me just

1 turn it absolutely wide open and ask whether anyone has
2 anything further, any questions of any of the previous
3 speakers, or any further comments on thermal problems in
4 general.

5 Yes?

6 MR. WILDER: Dale Wilder of Lawrence Livermore Lab.

7 I'd like to respond to a couple of things, and I
8 may use the view graph here in a minute, if you don't mind.

9 The first is talking about uncertainties related to
10 things geo. I think that it was mentioned earlier, but
11 perhaps I would like to reinforce that there's a couple of
12 issues related to uncertainty with things related to geology.
13 One is the natural variability that's just present in
14 nature, and I think that there are many approaches that we've
15 tried to use as a profession to describe this variability,
16 and we'll never get away from it. I think that needs to be
17 carefully distinguished from uncertainties in terms of
18 processes and phenomenology and other uncertainties, even
19 uncertainties in the measurements of those properties that
20 we're trying to describe the variability of.

21 My second point--and this is the one that I may
22 need to use the view graph on--has to do with kind of a
23 follow up on Larry Ramspott's comment. Larry was talking
24 about the changes in the licensing strategy or the testable

1 hypotheses that developed over the years, and I think that
2 you've heard a lot of descriptions of what would be the
3 implications of various thermal loading. I think these
4 implications also have to do with some of our site
5 characterizations, so if I may, this is somewhat simple-
6 minded, and I apologize for the crudeness of the sketch, but
7 the point that I'm trying to make is that when you're looking
8 at the characterization of the site, if you're looking for
9 matrix properties, specifically, ambient conditions or
10 conditions in which you have matrix-dominated flow--and I see
11 that it got smeared trying to write in my lap there--vertical
12 boreholes are sufficient, because you're looking for matrix
13 properties.

14 What we've been talking about is a lot of processes
15 that have to do with fracture-dominated systems. If you are
16 looking for episodic fracture-dominated flow, or you're
17 concerned about thermal perturbations, you then need to focus
18 your site characterization on fracture properties, and so as
19 a follow up to what Larry has said about the changing
20 evolution in our licensing strategy, I would suggest that
21 that also needs to be taken into account in the site
22 characterization.

23 Thank you.

24 DR. DOMENICO: With regard to what Larry said and what

1 Steve said, you know, at one time DOE decided that Yucca
2 Mountain was worthy of being investigated as a potential
3 site, and they meant the Yucca Mountain that we've all come
4 to love and honor, you know, the unsaturated Yucca Mountain,
5 not exactly the dry Yucca Mountain, and our first day here I
6 asked Larry a few questions, one of which: How much of the
7 desire for a hot repository is driven by the sub-system 1,000
8 year performance, canister performance? And he admitted at
9 that time that a considerable part of it was being driven by
10 that concern.

11 Now, we find that there's a possibility we're
12 looking at the 10,000-year requirement being driven by the
13 very same concern, and good or bad, I'm not saying that's
14 good, I'm not saying that's bad, but we find ourselves where
15 we're letting the regulations drive what we're doing,
16 perhaps--and like I said, I can't say whether it's good or
17 bad--but I think Steve has a point, that there's a reporter
18 here and we all wake up tomorrow and read the Las Vegas paper
19 where they say that DOE plans to boil Yucca Mountain for
20 10,000 years, so I think these are all fine ideas, but I
21 might also add that I have not yet heard DOE endorse this,
22 and so that's very good, and we probably won't hear DOE. So
23 these ideas, I think, are all right for discussion, but I
24 don't think that this concept is certainly closed.

1 That's not a question, that's a statement.

2 DR. NORTH: I'd also like to commend Steve Frishman. I
3 think he identified a crucial issue. I must confess, when I
4 came into this meeting, I was thinking of the thermal loading
5 issue primarily in terms of an impact to be dealt with, and
6 I've since had my vision expanded to thinking about it as a
7 design factor. But I think it's very important to avoid an
8 either/or frame of reference, and especially doing that at an
9 early stage now, where, really, our focus ought to be on the
10 site suitability determination as DOE has said it wants to
11 emphasize in the near term in this era of budgetary
12 restriction, and identifying what information is really
13 crucial to resolve the question: Is the site acceptable?

14 Now, in the draft mission plan statement, there is
15 a paragraph beginning on the bottom of page 43, describing
16 the results of the test priorities task force, describing how
17 the task force adopted an approach to determining priorities,
18 and then it concludes: "Consequently, our emphasis at the
19 candidate site will be on two things: One, the information
20 needed to determine the potential for gaseous releases over
21 the long term; two, studies to resolve the geologic
22 complexity of the site as related to radionuclide migration
23 by groundwater transport."

24 I think what I've learned at this meeting is I

1 can't really think about either of those issues as it needs
2 to be dealt with, without bringing in thermal loading as
3 well, and we ought to be thinking about it in both of Steve's
4 dimension, an impact, and a design parameter; that, in
5 particular, what Dick Codell has just shown us is that the
6 potential for gaseous releases may be very strongly
7 influenced by the thermal regime; that that may be a critical
8 parameter and it might take things in a good direction as
9 opposed to a bad direction. And then I think what we have
10 heard about the issue of the thermal effects on groundwater
11 transport may be quite critical in terms of the impact of a
12 repository design on performance, and we clearly need to
13 understand that better.

14 I come away thinking that a very crucial need in
15 the near term that I would like to see met is a detailed
16 discussion of what validation would be needed in order to
17 convince skeptics--and I think the Board has at least one,
18 perhaps a number--that one can carry out enough analysis to
19 be assured that a warm or a hot thermal regime will, in fact,
20 protect against wet continuous or wet drip scenarios, such as
21 to reduce risks.

22 This means we have to be able to assure that the
23 thermal loading will not simply pump water up that might then
24 drip back down on the canisters, leading to corrosion and

1 release. What scale does it take to validate the type of
2 modeling that we have heard about and that we've seen in
3 terms of frog-eye plots and the many visuals that Tom
4 Buscheck has shown us? What does it take? Does it take a
5 room-size experiment? Does it take an experiment extending
6 over many acres?

7 And the Board has been to STREPA. We have seen the
8 kind of validation that other countries are trying to obtain.
9 What does it take to do that in tuff so that we understand
10 Yucca Mountain well enough to be able to answer the questions
11 that are going to need answers as part of the licensing
12 process, or to determine that the site is unsuitable well
13 before we get into the licensing process.

14 DR. ALLEN: Thank you.

15 There was a hand raised way in the back. Yeah,
16 Steve, once more.

17 MR. FRISHMAN: This was the last point that I wanted to
18 make. I tried to divide it up so that I had two or three
19 points that could be made one at a time, and I think, Warner,
20 after your comment and a couple others before that, it's time
21 for the final point, and that's a point that was brought up
22 by Dr. Price the first day, and that's: What's driving what
23 decisions, and where do the decisions come from, based on the
24 sort of amoebic movements of this program, where one part of

1 it seems to reach out in one direction and it gets punched,
2 so it just poofs out in another direction someplace else, and
3 I've only been an observer and a participant in this since
4 about 1976, so I really don't have all the scars on me that
5 some of the people in this room do, but I think I have
6 enough.

7 At this point, I think, as was mentioned, the
8 thermal loading issue is a crucial one when you're looking at
9 any site, given the constraints that the Congress laid into
10 the system, and that's, get this stuff into geologic disposal
11 as quick as you can. You're going to have the thermal
12 loading issue as long as you don't have a site with an
13 infinite plane or dimension where you can spread spent fuel
14 out as far as you want to, to where the thermal effects from
15 one emplacement are essentially unknown to the next
16 emplacement. You don't have that luxury right now.

17 What you're stuck with is a schedule and a block
18 where I noted the other day some structural features that
19 used to be considered a benefit have now evaporated, or at
20 least in some people's minds, because they're no longer a
21 benefit, but you're in the position now where if you say that
22 thermal loading is an integral part of determining
23 suitability, because it is both a design feature and an
24 impact, regardless of what you want to call it, it must be

1 dealt with in a license application, and it must be dealt
2 with first in a suitability determination by the Secretary,
3 separate from a license application.

4 Where do the decisions get made that allow that to
5 happen? Right now, we're sitting--well, let me just give you
6 one sort of crucial example of where we are. Probably,
7 either it has already been done or will be done within the
8 next very few days, will be the official designation of a new
9 reference ESF. If it hasn't been done, it will be. It's on
10 schedule to be done. That new reference ESF is nothing like
11 the other one. You know best why it isn't, and how it came
12 to be.

13 All right. Now, the Department maintains, and you
14 agree--and I think most people with practical thinking agree
15 --that that ESF should be designed and constructed in a way
16 where it would become part of a repository if a repository is
17 to be built.

18 Now, what effect has any consideration of thermal
19 loading had on that design? The answer is, essentially,
20 none, and it can't, because you don't know that you can rely
21 on thermal loading. You also don't know, if you can rely on
22 it, what the parameters are, but at the same time, you're
23 about to have a decision made at the highest level in the
24 Department of Energy to build that thing roughly the way it

1 has been designed.

2 And you have another piece that came up in the last
3 couple days regarding, well, what testing should be done in
4 the ESF, and maybe even surface-based testing, that would
5 help to understand, validate, or maybe even improve some of
6 the thoughts about how to use thermal loading as a resource,
7 while keeping in mind the concept of impact. That's the test
8 prioritization exercise that has gone on. What, in there,
9 has been bounced directly against trying to figure out
10 optimal thermal loading?

11 I'm not sure I know of very much in there that has.
12 So, once again, we have a program where there are pieces
13 running out there. Decisions are being made. Those
14 decisions ultimately, one way or another, either get
15 reinforced or shot by budgets, but somebody's going to dig a
16 hole, and that hole is going to become part of the next thing
17 if you're successful in getting that far.

18 So the real issue right now is what decisions are
19 going to drive, and even if you think that thermal loading is
20 the best thing in the world to do, are you going to be able
21 to do it without having some other decision co-opted out of
22 some other part of the program because that was the princess
23 that year in the budget discussions that are going on, and
24 next year, there will be some other one, and the year after

1 there will be some other one.

2 So you end up with a situation where the program
3 itself, whether anybody planned it to be or not, the program
4 itself turns out to be a trial and error, just mish-mash of a
5 whole set of sort of disconnected decisions, and it comes
6 back to something I've been saying for years and years about
7 this program, and that's that the real product of this
8 program is not one of everybody trying to do the best that
9 they can. The product of the program is much more a mix of
10 sort of inconsistent bests on everybody's part that don't fit
11 together, so it comes out to be one that is good enough, good
12 enough in the minds of the people who are involved in it, and
13 at some point in the process of becoming good enough, the
14 public is going to say, "Good enough is not good enough."

15 DR. ALLEN: You're next, Max.

16 MR. DANKO: George Danko, Mining Department, Mackay
17 School of Mines.

18 I would like to deflect back to this comment about
19 thermal load using high temperature as an asset instead of a
20 reliability to maintain a dry belt around the container, and
21 intake rate, this dried out zone, into the engineered barrier
22 system. I believe that can be considered as a spice, and if
23 you use too much spice during cooking, you can ruin the
24 dinner.

1 This thickness of this dry belt can be of a
2 concern. If you turn Yucca Mountain into a volcano, with a
3 lot of heat in the middle, that creates another public
4 deception. Everyone can be convinced that a little bit of
5 drying, or we don't need a lot of dried zone to prevent water
6 from coming into the repository area. Even a few feet layer
7 of dried bed would be quite enough, and if you think about
8 the delicate balancing of the thickness of this layer, you
9 might want to think again about those new techniques. You
10 can use thermal heat pipes or other engineering elements
11 where you can just do as much as you need to do and dry out
12 only a relatively small area in the mountain.

13 Thank you.

14 DR. ALLEN: Max?

15 MR. BLANCHARD: Thank you, Clarence.

16 Everyone that comes to these meetings are fully
17 entitled to their own opinions, and we're pleased to have
18 them express their opinions. I feel that you may find some
19 evidence that you'd care to cite, like you have, Steve, that
20 the program is run on trial and error and is a mish-mash of
21 illogical decisions. However, I, for one, feel just the
22 opposite, and I don't think it would be fair to let that
23 perception continue, either on the record, or for those who
24 are at the meeting who are trying to positively work in a

1 cooperative fashion to figure out how to get the correct data
2 and to develop the appropriate models, and feed that
3 information into developing meaningful designs so we can look
4 at the system and make some calculations that will withstand
5 a lot of criticism and debate for a number of years about
6 radionuclide releases in the future.

7 Nothing could be further from the truth than what
8 was said about not incorporating thermal effects into either
9 the repository design concepts that were considered for the
10 ESF alternative studies, or for the ESF itself. I assure you
11 that they were there. They're involved in from a design
12 standpoint, from a testing standpoint, and from a performance
13 assessment standpoint. All of those are in the ESF
14 alternative study. The alternative study, I understand that
15 people can look at it and kind of miss things because there's
16 a lot there. There's a tremendous volume of information, and
17 in order to make sure that it's clear and it's not overlooked
18 by those who may have, in a cursory view, thought they may
19 have not been there, I'd like to ask Mike Voegele to explain
20 how those were summarized for use in the decision process,
21 where the viability of the program looked at all of the
22 things that fit into making the picture for selecting
23 alternative ESF's.

24 Could you point out some points, Mike?

1 DR. VOEGELE: This is Mike Voegele.

2 I guess I'd like to respond to both Steve's comment
3 and Max's question simultaneously, because there's really a
4 two-phase aspect to the answer that I'm about to give.

5 With respect to the regulatory requirements on a
6 repository, all of them were considered in the development of
7 the ESF alternative study. Many of them were found to be
8 more significant discriminators with respect to the ESF
9 alternative study than certain other ones. I think with
10 respect to thermal loading-type questions, other than the
11 potential for introduction of fractures, I would have to say
12 that the thermal loading, per se, was not a significant
13 discriminator in the ESF alternative study.

14 However, I would like to make abundantly clear that
15 the decision that's about to be made by the Department of
16 Energy is not a decision to start construction of the
17 exploratory shaft facility. It is a decision to start Title
18 II design for the exploratory shaft facility, and we have
19 made it very clear in our plans for the Title II design
20 activity--which is the design activity where you really flesh
21 out the design--that all of the questions that have been
22 discussed today, yesterday, and Tuesday with respect to
23 things like ventilation of the repository, thermal loading of
24 the repository, so forth, are on schedule as trade studies

1 necessary to support the ESF Title II design.

2 So the point in time where the Department of Energy
3 will be making a decision to start construction of an
4 exploratory shaft facility follows the Title II design. The
5 early phases of the Title II design will not necessarily
6 address underground aspects of the facility in the
7 repository, so the thermal loading question is not so
8 important to the grading of the pads for the accesses, for
9 instance.

10 However, as we told the NRC a couple of weeks ago,
11 these types of issues--thermal loading, ventilation, numerous
12 repository-based design tradeoff studies--will be done as
13 necessary to support the Title II design of the ESF so that
14 we will be able to say with confidence that we have
15 considered things like thermal loading of the repository and
16 repository ventilation before we start construction of the
17 ESF. We believe that is necessary to meet the requirements
18 of 10 CFR 60.21.

19 DR. ALLEN: Thank you. I'd like to sort of try to begin
20 to wrap things up. I think we've had a good expression of
21 opinion. Other members of the Board may have things to say,
22 and Warner, in particular.

23 DR. NORTH: Well, I thought I'd jump into this because,
24 as I hear Steve Frishman's last statement--which provoked

1 response from Max and Mike--I get to thinking that I believe
2 that Steve and I agree--I'm not sure I'd want to share his
3 choice of words and examples, but I think the concerns he
4 expressed are concerns that I feel very deeply, and I think
5 they've been reflected in some of the reports that the Board
6 has come out with; in particular, our emphasis on iterative
7 performance assessment, and our emphasis in systems
8 engineering.

9 Now, I'm very pleased in the draft mission plan
10 amendment, which I heard Steve Frishman calling for a few
11 years ago as something that DOE badly needed to do, the kind
12 of emphasis I really want to see towards solving the problems
13 that I believe Steve is pointing out. I'm looking
14 specifically at page 56, and the paragraph that starts--the
15 first new paragraph on that page that says: "We will use
16 this iterative process of performance assessment to refine
17 the design of the repository. As we complete more advanced
18 designs, we use them in performance assessment models. We
19 use the resulting estimates of system performance to
20 determine what refinements are needed in the models and what
21 aspects of design could possibly be modified to improve
22 performance."

23 Now, a few minutes ago, in calling for work to
24 validate some of the models we've heard discussed here today,

1 what I wanted to do is see that theory put into practice. I
2 haven't seen the update for the site characterization plan to
3 figure out how to carry out the kinds of validation models
4 that I think are needed to convince skeptics that we really
5 understand thermal loading plus geohydrology well enough with
6 respect to this site.

7 Likewise, on page 155, there is an extensive
8 discussion of systems engineering, which I highly applaud.
9 It's the paragraph directly above "Configuration Management,"
10 and I won't take the time to read it, but I'll commend it for
11 attention, and I will also note that I think the kinds of
12 tradeoff studies--not just of the repository, but the whole
13 system--are badly needed. I haven't, as yet, seen them.
14 I've heard discussions of some of the issues involved, but
15 actually getting down to having some analysis of these issues
16 and some numbers we can look at in terms of impacts on safety
17 and performance, impacts on costs, and impacts on schedule,
18 as far as I know, DOE is in the position of having some
19 excellent theory which I thoroughly agree with, but putting
20 the theory into practice and getting some insights is a job
21 that needs doing.

22 Now, I'd like to encourage doing that job in a very
23 positive way, rather than one that's critical of the program
24 or intentions of the people involved in the program, but I

1 think the need's a clear one.

2 DR. ALLEN: Any final comments from the audience? How
3 about from the Board, or from our guests?

4 DR. PRICE: I'd like to just comment that there are two
5 types of design phenomena that seem to me to appear in the
6 processes that we observed, and seem to me, I'll say. I'd
7 like to think that back behind the regulations that are in
8 the program, there was an under-riding need to protect the
9 public, and from this need came criteria, and then came
10 regulations.

11 Then, in the attempt to implement the regulations,
12 the regulations may have served to erect institutional
13 barriers, where perhaps these barriers were not foreseen when
14 the regulations were written. Also, a tendency to dictate
15 design in ways that were not foreseen when the regulations
16 were written, and maybe a degradation of the overall systems
17 engineering integration in ways that were not seen as
18 individual criteria were addressed in the formation of
19 regulations.

20 So it seems apparent that there needs to be a
21 feedback loop, that you now look again at performance and
22 safety, and efficiency, and so forth, and apply them to the
23 criteria and to another look at the regulations. Failure to
24 do so, I would think, becomes design by regulation, where the

1 comment was made that the licensing hypothesis is a testable
2 hypothesis, which maybe I'm taking a little out of context
3 here at this point, where the design becomes--the effort in
4 design becomes one entirely dedicated to licenseability, and
5 this tends to fragment the program, where the design
6 repository looks at whether the repository is licensable,
7 whether a cask is licensable, whether an MRS is licensable.
8 And so it seems like we shouldn't be designing by regulation.

9

10 The other kind of design that appears to me to
11 arise occurs when we have a desire to pursue system
12 engineering and bring an integrated program into reality at
13 the same time the schedule marches on, and there are certain
14 indelible points which must be reached. There are
15 contractual arrangements which must be satisfied, and we have
16 to go on, and in the process, things happen that make the
17 design a reality that was never intended, perhaps, to be a
18 reality, and I think this is design by schedule default, and
19 I'd like to suggest that both of these are contaminations to
20 the proper design process, and sometime, somewhere, we need
21 to be able to purge ourselves from these if it's at all
22 humanly possible.

23 DR. ALLEN: Thank you.

24 Well, in that case, let me thank all the people who

1 participated and the speakers this afternoon. Certainly, I
2 found it very useful. I hope you have, and the Board is
3 thankful to you.

4 At this point, let me turn the meeting back over to
5 our chairman, Don Deere.

6 DR. DEERE: Thank you, and thank all of the participants
7 of the meeting, those of you who sat through three days of
8 interesting and, at times, rather laborious attempts to
9 understand some of the graphs, but in the end, we think we
10 all benefited. The idea was to have a comprehensive
11 discussion of potential effects, both beneficial and non-
12 beneficial effects, of thermal loading, and I think we have
13 heard differences of opinions with respect to canister life,
14 with respect to movements of the groundwater, precipitation.
15 All of these things have come out and different people have
16 come up with different results, but it has, I believe,
17 broadened everyone's understanding of the issues that are
18 being looked at, and this was essentially what we were
19 interested in.

20 We wanted to make sure that the design concept that
21 started really had a basis not only from the historical
22 concept of what was known and what was done ten years ago and
23 five years ago and two years ago, but right up to the
24 current, and that the plans were sufficiently broad that they

1 could handle some of these conflicting opinions that exist
2 based on analysis to date with less than complete data.

3 So we want to keep the designs open. I think this
4 was our interest. We've been very actively engaged in
5 looking at the ESF studies, and we know that they tie into
6 the repository design, and that's why we felt that the
7 thermal loading and how it was going to affect the repository
8 design was something that should be looked at right now, and
9 obviously, it has been and will be during the Title II
10 design.

11 So even though there have been differences of
12 opinion and different emphasis, I believe that this has been
13 a step forward to have this free exchange with the
14 differences of opinion and different results all looked at,
15 and hopefully, you'll be talking about these with some of
16 your friends on the way home and it will have made a step
17 forward in the process of doing the site characterization
18 studies.

19 Again, special thanks for all the contributions of
20 our foreign guests. We believe that they've brought to us an
21 understanding of what they're doing, even though they have
22 different geologies and, therefore, much different designs,
23 it was very helpful, and we do appreciate that we put them on
24 the spot and said, "Well, you've been here for two days. You

1 don't know much about our program, but what do you think?",
2 and we heard. They liked some of it and they didn't like
3 some of it, and I think that's very good.

4 Again, thanks to all of you.

5 (Whereupon, the meeting was adjourned.)

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24

1

2

3

4

5

6