

UNITED STATES
NUCLEAR WASTE TECHNICAL REVIEW BOARD

STRUCTURAL GEOLOGY & GEOENGINEERING

PANEL MEETING

EXPLORATORY STUDIES FACILITY DESIGN REVIEW

September 18, 1991

St. Tropez Hotel

Las Vegas, Nevada

BOARD MEMBERS PRESENT

Dr. Don U. Deere, Chairman,
Nuclear Waste Technical Review Board

Dr. Clarence Allen, Chair,
Structural Geology & Geoengineering

Also Present

Mr. Russell K. McFarland, P.E., Senior
Professional Staff

Dr. Edward J. Cording, Consultant

I N D E X

<u>SPEAKERS:</u>	<u>PAGE NO.</u>
Welcome Don U. Deere, Chairman, Nuclear Waste Technical Review Board (NWTRB). Clarence Allen, Chair, Structural Geology & Geoengineering.	4
Project Status Carl Gertz, Manager, Yucca Mountain Project Office	4
Opening Remarks Ed Petrie, Acting Director, Engineering & Development Division, Yucca Mountain Project Office.	31
Status Report on August ESF Design Review Dr. Russell L. Bullock, Technical Project Office, Raytheon Services Nevada.	37
SELECTED DESIGN ALTERNATIVE STUDIES	
Ramp Diameters Bruce Stanley, Lead Mining Engineer, Raytheon Services Nevada.	63
ESF Ramp Gradient Bruce Stanley, Lead Mining Engineer, Raytheon Services Nevada.	86
Ventilation Analysis Romeo Jurani, Senior Mining Engineer, Raytheon Services Nevada.	103
ESF Excavation Plan Bill Kennedy, Senior Mining Engineer, Raytheon Services Nevada.	120
Underground Transportation Methods Bill Kennedy, Senior Mining Engineer, Raytheon Services Nevada.	143
Plan and Rationale for Phased ESF Construction Approach Edgar Petrie, Acting Director, Engineering &	155

Development Division, Yucca Mountain Project
Office.

INDEX - Continued

<u>SPEAKERS:</u>	<u>PAGE NO.</u>
WASTE ISOLATION CONSTRAINTS IN ESF	
Introduction Ed Petrie, Acting Director, Engineering & Development Division, Yucca Mountain Project Office	165
Introduction of Foreign Materials Hemendra Kalia, Project Leader ESF, Los Alamos National Laboratory.	167
Control of Fluids: The Role of Performance Assessment Merton E. Fewell, Senior Member, Technical Staff, Sandia National Laboratory.	180
Thermal Structural Effects on Underground Excavations Stephen J. Bauer, Senior Member, Technical Staff, Sandia National Laboratory.	202

P R O C E E D I N G S

1

2

8:30 a.m.

3 DR. DEERE: Good morning ladies and gentlemen. I am Don
4 Deere, Chairman of the Nuclear Waste Technical Review Board.
5 I wish to welcome all of you to this meeting of the Board's
6 Panel on Structural Geology and Geoengineering, to be briefed
7 by and to enter into discussions with the DOE and its
8 contractors on the status of the design for the Exploratory
9 Studies Facility (ESF). I wish to thank the speakers in
10 advance for the time and efforts each has taken to prepare
11 his or her material and for coming here to present it to us
12 for review and discussion.

13 I remind the speakers and commentators to use the
14 microphone, to identify themselves and their affiliations,
15 and to speak up clearly so that we may generate an accurate
16 transcript.

17 I will now introduce fellow Board member, Dr.
18 Clarence Allen, who is Chair of the Panel on Structural
19 Geology and Geoengineering, for some opening remarks before I
20 enter in to the main part of my opening statement.

21 Clarence.

22 DR. ALLEN: Thank you, Don.

23 Let me also welcome you to this meeting of the
24 Panel and let me introduce Dr. Edward Cording on my left,
25 consultant to the Panel from the University of Illinois, and

1 senior professional staff member, Russell McFarland.

2 Yesterday, I was at a meeting in San Luis Obispo,
3 California involving PG&E and Nuclear Regulatory Commission
4 and PG&E managed to put on a magnitude 5.1 earthquake not
5 very far from the plant during the afternoon. And so we are
6 looking forward anxiously to see what the DOE can do for us
7 today. Perhaps, Carl, just a small eruption at Lathrop
8 Wells.

9 So thank you, and Don, let me turn the meeting back
10 over to you.

11 DR. DEERE: Thank you, Clarence.

12 The Board and this Panel particularly, have been
13 following the ESF Studies for a year or more. In our July
14 Panel Meeting in Arlington, Virginia, we received information
15 on trade-off studies of the ramp or tunnel decline diameter,
16 the grades, portal locations as well as the proposed staged
17 construction concept. Senior professional staff member, Russ
18 McFarland, whom you just met, our specialist in the
19 geotechnical field and the Board consultant, Dr. E. J.
20 Cording, a professor in Rock Engineering in the Department of
21 Civil Engineering, University of Illinois, and a recognized
22 authority and consultant in tunnel design and construction,
23 attended here in Las Vegas, about one month ago, a DOE design
24 review meeting on the ESF.

25 Meanwhile, I have had the opportunity of discussing

1 some of the items with Ed Cording, Russ, and other staff
2 members and with a number of the Board Members, including Dr.
3 Allen. The DOE and its contractors have done extensive
4 conceptual and preliminary design work and much has been
5 accomplished. However, we do have some questions and points
6 of concern. Some of these will no doubt be covered in the
7 upcoming presentations today and tomorrow. Others we would
8 hope to discuss with DOE at appropriate times in open session
9 during this meeting, perhaps following the prepared briefings
10 of today, if we finish on time or hold to schedule, and if
11 not, perhaps tomorrow morning.

12 Certainly, a recent concern is the cut in the
13 appropriations which will curtail the ongoing design work and
14 will lead to a projected one-year delay in starting the
15 portal construction work, from November 1992 to November
16 1993. In the Board's view, this budget cut could also delay
17 the early determination of site suitability, or
18 unsuitability, by an equal year; and, unless the
19 appropriations for site work are increased very substantially
20 in fiscal year 1993 and the following years, the present
21 target dates all down the line will slip.

22 The main points that we would like to present for
23 your consideration, and for the information of other
24 interested parties, are listed in the following-- are
25 discussed in the following five points.

1 Point 1. We suggest that the ramp diameter could
2 be reduced. From the viewpoint of exploratory works, a
3 diameter of 16, 18 or 20 feet should suffice. Benefits could
4 result in less volume of excavated rock (35-50% less from
5 the currently proposed 25' diameter); from savings in the TBM
6 cost and in greater availability in the marketplace of TBMs
7 of the 16' to 20' range; from increased wall stability and
8 decreased support requirements because of the smaller
9 diameter; and from higher tunnel advance rates.

10 Point 2. If the site is found to be suitable, then
11 an enlargement of the ramps and tunnels could be considered
12 to see if necessary or not for repository construction and
13 operation. Since such a finding is many years off, and
14 construction ever farther out in years, the present worth of
15 such future construction is low, and could compensate for
16 part if not all of the additional future cost of enlarging,
17 if such were to become the case.

18 Point 3. The phased concept of ESF construction
19 has 10 phases extending over many years. To us, it appears
20 that the exploratory tunnels arrive rather late at key areas.
21 It seems to be based more on equal construction and funding
22 increments than on key geological issues and the early
23 assessment of site suitability. For instance, the Ghost
24 Dance fault in the Topopah Springs unit is not crossed until
25 Phase 8 (out of 10 phases).

1 Point 4. The Board considers that early access to
2 the Ghost Dance fault is imperative in order to get an early
3 insight into what most likely is a permeable zone cutting
4 across the heart of the candidate repository block. This
5 fault zone should not only be viewed and studied at two or
6 three places in both the Topopah Springs welded tuff and in
7 the underlying Calico Hills unit, as is currently planned,
8 but also in units above the level of the candidate
9 repository. An ideal area would be where the fault crosses
10 the contact of a fractured and permeable welded tuff unit
11 underlying zeolitic or bedded tuff, a perfect situation for
12 perched water to move down the contact and either be trapped
13 by or drained by the Ghost Dance fault. We believe such
14 exposures are critical to understanding the hydrogeologic
15 framework of Yucca Mountain.

16 Point 5. One suggested method is to pinpoint three
17 areas where the Ghost Dance fault crosses the above described
18 upper contact, the Topopah Springs formation, and the Calico
19 Hills unit, and to make them early targets of exploration.
20 The north ramp could be in the form of a J inclined downward,
21 and then turning into the north-south drift at the level of
22 the candidate repository and following it until the Ghost
23 Dance fault is crossed a thousand or more feet to the south.
24 The south ramp could go directly down to the Calico Hills
25 unit as a deeper J tunnel where it curves into the projected

1 south-north tunnel and proceeds northward until crossing the
2 Ghost Dance fault, or vice versa. The concept being that
3 there is an upward tunnel that comes into one unit, a second
4 tunnel that goes into the lower unit, both crossing Ghost
5 Dance fault. Meanwhile, an upper drift excavated by
6 roadheader could take off from the north ramp in a softer
7 upper tuff unit, perhaps a bedded tuff or zeolitic tuff,
8 until crossing the Ghost Dance fault above the candidate
9 repository horizon.

10 In conclusion, we offer these comments in a
11 constructive sense as potential enhancements to the layout
12 and design of the ESF. We know that flexibility is being
13 built into the system, and these potential changes will
14 challenge that flexibility. The early emphasis on the Ghost
15 Dance fault in no way changes the rest of the exploratory
16 program as it is currently proposed. All other faults
17 deserve close scrutiny as does the general fracture and
18 matrix permeability which are important to hydrogeology. It
19 is recognized that the engineering construction restraint may
20 be the ventilation, however, this plan with only two tunnel
21 boring machines of smaller size, would reduce the ventilation
22 requirements.

23 Once the two J tunnels and the third upper tunnel
24 by roadheader are constructed and have arrived at their
25 target goals, a great deal more information will be available

1 about the characteristics of the Ghost Dance fault about the
2 offset along that fault which varies considerably, becoming
3 greater as you go to the south; many other minor faults, many
4 different beds will be crossed; so, we believe that this is
5 an enhancement of the existing program that is brought about
6 only by consideration of tunnel size and of the position of
7 sequencing the operations.

8 Thank you very much. We will return to some of
9 these points later. I now would like to turn the program
10 over to Carl Gertz, who will comment on the status of the
11 project and I am sure that his comments will perhaps shed
12 some light on what we have here.

13 I would also like to hand out for your viewing,
14 three or four photos of, one, being of a tunnel boring
15 machine getting ready to go underground. This is a portal
16 and I would well imagine not too far from Las Vegas. This
17 portal in welded tuff obviously would take the better part of
18 a week to design and probably the better part of a month to
19 construct. Other portals here are not quite so fancy, and
20 you will see here the comparative size, the so-called smaller
21 TBM, and this happens to be an 18' TBM when you can compare
22 it with the people who are standing there, it is really a
23 rather massive machine in diameter. I will pass these along
24 and you take a look at them at your leisure.

25 Carl.

1 MR. GERTZ: On behalf of the Department of Energy, I
2 would like to welcome you all here today. Don, I appreciate
3 your opening remarks. Certainly, we want to consider all of
4 your remarks as we go on with our design of the Exploratory
5 Studies Facility. So, many of those items you addressed will
6 be discussed through today and I think over the next year we
7 will have ample opportunity to interact with you on that,
8 because that is really what this is all about is to try to
9 see if Yucca Mountain is safe.

10 So, with that thought, let me tell you what I am
11 going to talk about today. In order so you can understand
12 where my team is going in the next year in our efforts to
13 study Yucca Mountain, I thought I would give you a little
14 status about the project and put things in perspective so you
15 know where we are heading on the ESF in the next year. So,
16 one, I'll talk about what we did accomplish this last year,
17 what our plans and priorities are in the face of limited
18 budgets next year. I'll talk to you about status of law-
19 suits, status of permits and entertain any questions you
20 might have.

21 We are ready to start major new site
22 characterization activities. The only thing, essentially,
23 that is going to be limiting us through the next year is
24 limited funding. We are ready to get on with the job of
25 studying Yucca Mountain to see if it is safe.

1 One of the pieces of equipments that we have
2 developed is setting here and is now finished testing in Utah
3 and will be at Yucca Mountain on mid-October to November 1st.
4 It is our LM-300 and we will have it down to do some
5 drilling at Yucca Mountain next year.

6 Here are some of our major accomplishments. We did
7 start new work at Yucca Mountain, I talked to you about that
8 in July at your meeting there. We are developing site
9 suitability methodology. We want to look at the data that we
10 have accumulated over the last four or five years since we
11 have last made an assessment of site suitability and we are
12 developing criteria and data. That is being reviewed by a 14
13 member independent peer review made up of members of academia
14 and they are conducting that peer review right now.

15 We continued non-surface disturbing activities,
16 whether it was Bruce Crowe's volcanism studies, Dr. Crowe's
17 studies, other seismic studies in Midway Valley, John
18 Stuckless' studies at Trench 14.

19 We did complete four on-going major studies. First
20 of all test prioritization; what tests are important to do
21 first. Secondly, you will hear much more about it today than
22 you have in the past, our ESF alternatives. We focused at
23 this preliminary stage, and I want to emphasize that, what
24 you see here is a preliminary design. It is just a first
25 shot at it; we are then going to go do a lot more design. We

1 have a model of this preliminary design for your observation
2 setting on the corner of the table. But, in effect we've
3 completed that study which included the risk/benefit analysis
4 of penetrating the Calico Hills and you've alluded to
5 importance of that interaction. And, we have completed some
6 alternate license applications strategy.

7 The subject today is: we have revised our ESF
8 Title I design summary report. It is our next step for going
9 on with enhancing the design.

10 You saw this before. I just want to invite you
11 once again for the Board to come out to the mountain to see
12 what has happened. You haven't maybe been there for awhile;
13 some of you have. But, sometime in the next year if you
14 would come out to the mountain and see what is going on, we
15 would sure appreciate that.

16 Let me tell you where we are going in 1992. We are
17 going to complete our initial site suitability evaluation
18 activities; we will produce a report and submit that for
19 public comment after the first of the year.

20 We are going to do minimal surface-based testing.
21 Minimal is the word, because it is limited by funding.

22 We'll continue our ongoing characterization
23 studies; monitoring the size of its stations. Dr. Allen, I
24 don't think I can produce a new eruption at Lathrop Wells as
25 you alluded to, but every fifteen minutes this evening down

1 at the Mirage they simulate a volcanic eruption. But, we are
2 going to continue all our ongoing activities.

3 We will begin limited Title II design of this
4 concept that is in front of you, and I will show you what
5 that is a little bit later. We will start construction of
6 ESF pads and roads in November, 1992; once again limited by
7 funding. We had originally planned to do this in May or June
8 of this year, but it will be postponed to November.

9 While we do all of this work, we need to maintain a
10 sound environmental program. We have to make sure that we
11 are paying appropriate attention to the flora, fauna,
12 archeological aspects of the program. And we can do that and
13 provide support to field activities.

14 We will be conducting performance assessment to
15 support our project priorities; numerical performance
16 assessment to assure our test are prioritized; our activities
17 are prioritized; and, to support our design activities.

18 We will implement, once again, a full project-wide
19 quality assurance program. Over the three years we have
20 developed a sound program subject to numerous audits,
21 surveillances, total them all up, it is well over a couple of
22 hundred audits and surveillances. We will continue that
23 because we have a sound program. We will continue a fairly
24 comprehensive cost schedule control system. We are able to
25 point out both to the GAO and the IG, members of Congress

1 that we know where the funds are being spent; they will be in
2 control; we are reporting on progress.

3 Unfortunately, we will have to reduce, because of
4 funding limitation, our waste package/EBS/near-field
5 environmental activities; that will be somewhat reduced, but
6 we will continue them.

7 We need to maintain an infrastructure. There is so
8 much of fixed cost whether you do five million work in the
9 field, ten million or thirty million work in the field, you
10 still have a certain amount of fixed cost. That includes
11 roads, buildings, record centers, project control systems, QA
12 programs, environmental programs. We will maintain those
13 activities. We will continue to conduct our institutional
14 and outreach programs, somewhat limited by funding, but
15 always we feel it is important to make sure the public is
16 informed as to what we are doing on the program.

17 Throughout all this we will transition a major new
18 contractor, the M&O, the TRW team into project activities.
19 That will be working, transitioning throughout this year, and
20 in 1993.

21 That is our priorities. And there are many more
22 things besides those twelve that we are going to do.

23 Let me put it into perspective of a little Gant
24 chart for you. This is our surface disturbing, essentially,
25 activity that is going on next year, that we planned. Even

1 as we talk our plans change. My staff is back in my office
2 right now evaluating what we should be doing in '92 and who
3 should be allocated the money. Things do change.

4 Today, one of our first activities would be very
5 shortly to start Dr. Flint's investigation of the unsaturated
6 zone infiltration and that would be consisting of about 36
7 boreholes both in infiltration and in the simulated small
8 plot for rainfall and the large plot rainfall simulation.
9 That is an 8-hour a day operation with that drill rig.

10 We would continue to be throughout the year doing
11 other activities; Dr. Crowe's volcanic studies at Lathrop
12 Wells; the study started at Midway Valley by the Sandia; Dr.
13 Stuckless' activities. This would just be going on. We call
14 them trenches and pits.

15 In addition to that, you saw the picture of the LM-
16 300. We hope to have that here at the test site at Yucca
17 Mountain in the November time frame. The first thing we are
18 going to do is drill a deep monitoring well that is required
19 by our agreement with the National Park Service, so that we
20 can monitor any withdrawal that we might be taking from the
21 RJ-13 well. Then we would go onto a prototype of unsaturated
22 zone of about 3,000 feet deep, that would once again be a
23 five day a week; when we get into a certain part of it, we
24 will go sixteen hours a day. We would move that rig and do a
25 geological or another unsaturated zone and that would be a 24

1 hour/5 day operation near the end of the year.

2 In addition to that, to provide the designers with
3 some information, you'll hear more about that, we need to get
4 ready and do some boreholes where the ramp location would be,
5 so that we can understand the physical characteristics of
6 where our proposed ramps would be on that model so we can do
7 an optimum design.

8 Today, as we speak, or just shortly last week, we
9 were working on and completed drilling some holes near our
10 hydrologic research facility. That is where the researches
11 can work on prototype instrumentation, so when it is time to
12 come to the mountain they will have their instrumentation
13 fine tuned. And, we always have ongoing things, whether it
14 is lab analysis, unsaturated/saturated zone, monitoring,
15 geologic mapping, seismic monitoring, etc.

16 That is kind of our field work in '92. That sets
17 the stage for our plans.

18 Let me talk now about though, the ESF, our
19 Exploratory Studies Facility. In '92, you see what is up
20 here in green, our plans are to start our construction
21 design, definitive design, we use the words in DOE Title II
22 design, of roads and pads. In essence that is about all we
23 are going to do on this activity. We are going to do some
24 shallow drillholes as I pointed out in the previous chart; we
25 will do our soil/rock surveys; we will fix the first location

1 along about July, and we will end up at the end of that year
2 with a construction package ready to start in the field (that
3 is the blue area) of constructing the roads and pads for the
4 first portal. We hope to start in the field, November of
5 '92.

6 In 1993, as you alluded to, we hope we will have
7 overcome the funding hurdles; that Congress and the OMB will
8 have recognized progress is being made at Yucca Mountain.
9 Some of the impediments that were originally there, be it
10 permits or whatever, have been removed and we'll have
11 sufficient funding to start a comprehensive design, not only
12 of the first portal, but also surface facilities, electric
13 power, and the remaining ESF design activities underground.

14 We hope at this time also to place a contract with
15 an underground constructor for consulting services to help us
16 through this activity, start long-leap procurement, and
17 eventually, as you have alluded to, there will be a one year
18 slip in the portal construction. We had hoped to start the
19 first portal going into the side of the mountain, be it Exile
20 Hill or at the south side of the portal, we had hoped to
21 start that October 1, 1992. We are now going to defer that
22 to about November of 1993. But, we hope to have the pads
23 ready and everything before that so that when it comes time
24 to go, we are ready to go.

25 This green package, on the bottom as you are aware,

1 in order to do a pad and roads, you need portal design
2 sufficient so we can get the blasting done; you need to know
3 where your gradient is; you need to know locations of the
4 temporary facilities above-ground. That is our design chart
5 and you saw our field chart.

6 Let me remind you, and I think you alluded to it
7 very well, Dr. Deere, that here is our mission at ESF. We
8 want to provide data to evaluate the suitability of the
9 geologic barriers. That is the only reason we are building
10 the ESF, to understand if Yucca Mountain is suitable. In
11 addition to that, once we get there, if it is suitable, then
12 why not obtain information for the design of a potential
13 repository. Our primary mission is to evaluate the
14 suitability of geologic barriers. So, we look forward to all
15 interactions that will lead us to that conclusion.

16 Let me just put things in perspective. As I said,
17 the model setting over there, this is a view of Yucca
18 Mountain, a planned view. North is at the top of this
19 sketch. What you see here is the road to the top of the
20 mountain. Those of you who have been to the top of the
21 mountain are familiar; that is usually where tours are
22 conducted, right up there (indicating). Here you see our
23 north ramp and our south ramp. The main drift in green is
24 the outline of the repository perimeter. When I talk about
25 roads and pads for '92, what would we design? It's either a

1 pad here or a pad here and appropriate support roads to get
2 those pads constructed. That is the construction package we
3 are talking about. We have not decided, you'll hear our
4 staff talking, whether south or north should be the first
5 one. That is part of our studies.

6 We have produced 200 drawings; we've produced many
7 trade studies at this initial stage of our design. But, all
8 of it is to be enhanced and fine-tuned before we dig dirt in
9 these areas. That is our mission over the next year is to
10 pick out the right spot and get construction drawings going
11 someplace to get on with the design.

12 In starting this design, we have had many
13 interactions with the NRC; the most recent was last Monday in
14 Washington, D.C. Initially a couple of years ago they had
15 some concern about our process, our design control process,
16 etc. We believe we had a very successful meeting with the
17 NRC last Monday; their management reported at the end of the
18 meeting they saw no reason for us not to start our Title II
19 design, and we will be interacting with them on the formal
20 letter.

21 In effect, we have an adequate design control
22 process in place, that meets the regulations that has sound
23 QA pedigree; the participants have been audited extensively
24 in the implementation. We are looking at the design and the
25 geologic repository operations area design simultaneously.

1 Although we wouldn't be building a repository operations area
2 as you correctly point out twenty years from now, fifteen
3 years from now or so, the regulations require that these
4 designs are brought along interactively; that one is
5 considered with the other at all times. We assured them that
6 we have a process that does that. We certainly have looked
7 at alternatives for design features, ramps and shafts. We
8 have excavation methods, alternatives that have been looked
9 at. We have addressed test interference. In fact, we have
10 increased the underground area almost four-fold to assure we
11 have a proper area for testing; and, we will of course be
12 collecting different site parameters throughout our
13 excavation process and this design allows us to do that.

14 In summary, we believe all elements of the system
15 recognize that we are ready to perceive with Title II design.
16 Our next step is to take this package to the Secretary of
17 Energy's Board, and he allows us authority to go ahead based
18 on cost and schedule. Because it is a significant cost and
19 schedule activity, not only do we seek approval for this
20 activity, we seek approval for the entire surface-based
21 program. That is about a 5 billion dollar activity. The
22 Secretary's independent cost estimate people have reviewed
23 that; we are within about 4 percent of an independent cost
24 estimate of it, so we think we satisfied our prerequisites to
25 move forward.

1 Now let me switch just a little bit to our
2 accounting system for next year, so I can help you understand
3 a little bit what we are going to do next year. It may
4 enhance your planning of our interactions with us, but at
5 least I want you to know as a project manager where I am
6 placing the priorities and I'll do this from a numerical
7 sense.

8 This just reminds you what the titles of our
9 accounts are; 1.2.1, 1.2.2, site investigation, repository,
10 regulatory, ESF, ongoing facilities, and our project
11 management activities. I went through this in detail with
12 you in July; I won't go through it again. Once again, that
13 just enhancing our accounting system, so that you know the
14 different activities that are undergoing, and actually there
15 are about 4,000 activities when you get down to the 5th, 6th
16 and 7th level.

17 But, I guess here is the crux of the issue that I
18 as a project manager have to deal with this year. In '91, on
19 the project, we had spent--will spend about \$175 million. In
20 '92 we are going to spend about \$20 million less than that.
21 That translate into reducing personnel; reducing activities.
22 There is just no other way to read that.

23 For our present planning purposes and I have
24 underlined that that is planning, and that simply is what it
25 is, here is how we distributed the money. I won't go through

1 much of the details with it, but we have emphasized some of
2 the site work. We think it is important to get some drilling
3 done; get some early indication of site suitability. In
4 order to emphasize that, we have had to de-emphasize
5 something else. In that we de-emphasized the ESF, and we
6 have deferred that for about one year. We have also de-
7 emphasized our work on the waste package. I as a project
8 manager would like to spend about 350 to 400 million dollars
9 a year. That is what I believe is necessary for a sound
10 comprehensive program at this stage. Unfortunately, we
11 didn't get that kind of funding allocated to us by the
12 Congress.

13 Here is what we have. We have to make use of it as
14 best we can. As I alluded to, there is certain amount of
15 fixed costs that you have to have, no matter if you are doing
16 a one million or a hundred million field program. Some of
17 those fixed costs evolve around project control, QA,
18 administration, you have to pay rent, you have to take care
19 of roads. That is kind of our breakdown of the money
20 allocation today.

21 With that, I am going to briefly go through each
22 work breakdown structure to highlight some of the things we
23 are doing. In 1.2.1 which is systems, performance
24 assessment, and technical data, we need to keep a
25 configuration management system in place. We have to have

1 plans and procedures. We are doing performance assessment,
2 including a total systems performance assessment just after
3 the first of the year. We are enhancing our technical data
4 bases; we call them the RIB and the site engineering
5 properties data base, and our supporting requirements
6 development program is evolving along those lines.

7 In waste package, we will continue some ongoing
8 waste form testing. We believe we have multi-year tasks that
9 we need to continue. We will hope to complete our systems
10 approach to EBS design concepts. We don't know if we can
11 make it or not, but we are going to sure try. We will do some
12 near-field environment activities; put out some reports; we
13 still want to study the near-field environment with respect
14 to hydrology, hydrologic aspects around the waste package.

15 Also, in '92 for planning basis, you have seen most
16 of the stuff in site. We'll do volcanic investigations,
17 ongoing surface-based, do some new drilling be it at Yucca
18 Mountain, the borehole for the Park Service, unsaturated zone
19 boreholes and geological investigation boreholes.

20 ESF, in repository, we want to make sure the
21 repository design is being brought along respective to the
22 ESF design, and that the interfaces are addressed and we'll
23 do some geomechanical testing, because, even if it is an ESF,
24 we think we need to design the underground openings for the
25 thermomechanical loads that will be involved with the

1 repository 20 years from now.

2 1.2.5; we'll do the regulatory, institutional,
3 environmental activities. Site suitability report falls in
4 this area. We have to continue our broad-based environmental
5 activities at the site. We conduct our institutional program
6 including a comprehensive tour program; point of information,
7 we have over 520 people signed up for a tour of Yucca
8 Mountain this Saturday. So, we think it is important to keep
9 the public informed, and that is a very successful program.
10 These are people who took the initiative, saw an ad in the
11 paper, called up and said we would like to tour Yucca
12 Mountain.

13 As this meeting and many other meetings go, we will
14 support NRC. We were at a comprehensive meeting last Monday
15 with the NRC, Waste Technical Review Board, and Advisory
16 Committee on Nuclear Waste and any other oversight activities
17 that go on; and, there are several activities.

18 We will hear more about this today, so I will just
19 go over that quickly. We want to make sure we do the Title
20 II design and we will implement a construction management
21 plan so that we can get on with the first area when the time
22 comes.

23 We have a field operation center. We have 12
24 buildings. We have miles and miles of roads that we have to
25 maintain. We do have real estate that must be taken care of.

1 We want to make sure that we can do work in the field
2 expeditiously and we have a field change control process that
3 provides for flexibility. In fact the day we started Midway
4 Valley, we ran five changes through our change control board
5 that the scientists thought were necessary in order for them
6 to get on with their activities. So, the system is working
7 and we want to assure safety of our existing facilities.

8 1.2.9 is our fixed costs, so to speak. We
9 unequivocally have to maintain a sound QA program. Once
10 again, I am really proud the way the scientists and engineers
11 have evolved this program over the years; have worked
12 together with the QA professionals; and there seems to be a
13 meeting of the minds that we can get the job done from a
14 scientific point of view and still meet all the regulatory
15 requirements. That is very heartening as a project manager
16 to see that progress.

17 We need a cost schedule control system. We need it
18 at detailed level. I have interacted with Congressional
19 staff; I believe the fact that we have one saved us from a
20 \$40 million further cut last year in Congressional
21 appropriations. So, we are going to need this comprehensive
22 system. We just need certain infrastructures, certain fixed
23 costs that goes along with running a big project.

24 Let me switch now, a little bit. I've talked about
25 the challenges of a budget, now let me talk about the

1 challenges we have in the legal arena. As you are well
2 aware, this project has been extensively litigated. One of
3 the lawsuits was initiated by the State of Nevada and that
4 has gone through a series of appeals, even to the Supreme
5 Court. We now consider this lawsuit closed that the state's
6 veto and the state's law AB-222 were premature and
7 unconstitutional. So, that is one lawsuit that we have off
8 the books.

9 However, there is another one that remains open and
10 that is the suit we filed seeking the state to act in
11 accordance with their laws to issue us permits. Part of this
12 lawsuit has been dismissed because the state did issue two of
13 the three permits we asked for. The state engineer though,
14 will be holding a hearing on September 24th; its a ten day
15 hearing. It is a hearing for the water we want to use from
16 J-13. We are following that process. It is an extensive
17 hearing even though it is about 1/50th of the amount of water
18 that the nearest gold mine uses, it is still a part of our
19 procedural compliance approach, and we will be participating
20 in that hearing. That lawsuit is open right now until this
21 activity is completed; at least, that is what the Judge has
22 indicated.

23 We had some other major lawsuit that were in front
24 of the 9th Circuit Court of Appeals; very recently they have
25 been resolved. We call them the Big Picture lawsuits. They

1 were the guidelines and in environmental assessment cases,
2 they were originally filed in '85 and 86. They had been
3 working their way through the judicial system, but just three
4 weeks ago, the final decision came on the last case of the
5 assessment. And I think it certainly sends a message at
6 least to the Department that the judicial system recognizes
7 that Congress ordered the Secretary to conduct the scientific
8 studies at Yucca Mountain. It also said that that Waste
9 Policy Act as amended sends clear, it is a clear legislative
10 command, and it is not contingent upon much else except go
11 study the mountain. It is a fourteen page opinion that you
12 might be interested in reading, but in essence, we think we
13 have a judicial mandate as well as a legislative mandate to
14 study Yucca Mountain.

15 So where do we stand on permits? As you pointed
16 out, we have two permits. Our major water permit is the
17 subject of a ten day hearing. But, we also just recently
18 received a permit from the state to use a well that we
19 originally identified in 1982 for site characterization
20 activities, but we hadn't used. It is on the west side of
21 Yucca Mountain. It is 26 road miles from our current storage
22 tanks, but the state issued us a temporary permit so that we
23 could use this well as opposed to haul water from California
24 at least while they are evaluating our major appropriations
25 permit. This does not take away the need for our J-13

1 appropriation request; one, because it is only for about the
2 next eight months; two, because it is not where we want it to
3 be; but, it does allow us to conduct those studies that I
4 have alluded to in my previous chart about surface-based
5 activities next year.

6 So I guess I would like to just summarize where we
7 stand right now on the project and the status of the project.
8 One, in order to make progress, we do need help. We need
9 litigation. And we are moving slowly but surely along that
10 path. But, we also need legislation, because, we would like
11 the scientific study of Yucca Mountain which is going to take
12 ten years to be decoupled from any political maneuver. We
13 want the science to proceed without any political
14 interference. I think that was Congressional intent; I think
15 that's the Court's interpretation of that, but we may need
16 legislation and both Houses and Congress have passed at the
17 sub-committee level bills that allow the separation of the
18 science and the politics. They are called permitting
19 expediting bills. They would allow us to go ahead in absence
20 of state permits.

21 Secondly, though, even if we have permits through
22 litigation or legislation, we need OMB and departmental
23 support to obtain adequate resources. I'll just state right
24 now, we really have a tough year; as a project manager I
25 have a tough year. We are facing lay-offs. At the same time

1 we are bringing on a major new contractor to take a role, the
2 M&O contractor; those activities are going on. And while we
3 are doing both of those things, facing lay-offs, bringing in
4 a new contractor, we still must meet on major milestones.
5 So, we have a challenge in front of us and lots of trade-offs
6 were involved to come to the position that we are in now.

7 We need that to move forward; and then, after we
8 propose adequate resources, we need Congressional support.
9 Without all three of those checks, this program will become
10 stalled. Dr. Deere, I think you alluded to that. We don't
11 want to see it stalled, certainly, but it will become stalled
12 unless we have adequate funding. Many of us believe that the
13 program becomes stalled and the nuclear option becomes less
14 viable as a part of this nation's energy strategy.

15 That is my overview; tries to set the stage of
16 where I think the project is going this year. An important
17 part of what is going on this year is getting on with the
18 definitive design. Once again, I would like publicly to
19 compliment the architect engineer Raytheon for the product
20 they have produced. We went over some of it with the NRC on
21 Monday. It is a fine product. It is just sad because of
22 budget cuts that their work force will be reduced. I'd like
23 to keep them on full bore and go ahead with design, but in
24 our view other activities are more important to keep the
25 viability of the program in front of Congress.

1 I'll respond to any questions you might have.

2 DR. ALLEN: Thank you, Carl. Questions from the Board
3 or staff or consultants?

4 DR. DEERE: I forgot to say one thing, Carl, the opening
5 remarks that I gave are being typed and there will be copies
6 available after lunch for all of those who are interested.

7 MR. GERTZ: Great. Well, we are looking forward to
8 interactions with you on those remarks, because many of those
9 ideas were considered at different aspects of our design and
10 will be considered in the future. We appreciate your input
11 on those areas; collectively your report and input.

12 DR. ALLEN: Any comments or questions from the audience?

13 Okay. Let's move on the. Mr. Petrie, I guess you
14 are on next.

15 MR. PETRIE: My name is Ted Petrie. I am the acting
16 director of the Engineering and Development Division of the
17 Department of Energy. As part of my introduction I am going
18 to first go a little bit over our agenda and I'll try to keep
19 the agenda on this other screen.

20 We've been through the first two items; now I am
21 going to say a few things. Then, we will turn it over to to
22 Dick Bullock of RSN and who will talk to you about the status
23 of the ESF design reviews.

24 Then, we will have some discussion about ramp
25 diameters by Bruce Stanley; some more discussion of ESF ramp

1 gradient by Bruce; ventilation analyses by Mr. Jurani; ESF
2 excavation plan by Bill Kennedy, will talk about underground
3 transportation and the plan and rationale for the phased
4 approach. That will complete our first section of this
5 presentation.

6 We will then go into a discussion of the waste
7 isolation constraints in ESF; I'll give you a short
8 introductions on that. And then we will be talking about
9 introduction of foreign materials; control of fluids; thermal
10 structural effects on underground excavations. Then, we hope
11 to have completed that by the close of the day.

12 Tomorrow morning we will go into our third feature
13 which will be a discussion of the repository design features
14 as they relate to the ESF and what we have done and have been
15 doing over the past few years to ensure an integration
16 between those two, namely the repository and the exploratory
17 shaft facility. I'll introduce that; Mike Voegle will be
18 presenting and as indicated, we would like to complete by
19 about noontime tomorrow.

20 Having said that, let me just go into the
21 introduction. The first section which will be again on the
22 ESF design. The first thing I would like to remind you about
23 the DOE design process. We in the Department have a lot of
24 orders. Orders are the things that the Department prepares
25 such that they get a consistent set of work throughout the

1 entire Department managing. There are hundreds and thousands
2 of pages in the orders. The order that concerns us for the
3 most is the part where we go to design, is 4700.1. That is
4 our document or our bible document within the Department that
5 tells us how to do a design task. And it calls off four
6 phases of design: conceptual design; a preliminary design
7 which is Title I; a final or definite design which is Title
8 II; and the as-builts which are the inspection portions of it
9 which we call Title III.

10 As you know, we are in Title I. We are in Title I
11 or just barely completing Title I, trying to get into Title
12 II. And just as a block diagram, conceptual, Title I, Title
13 II, and the as-builts Title III.

14 The conceptual design, it encompasses those efforts
15 to develop a project scope that will satisfy program needs, I
16 won't read all those to you, but it is a typical conceptual
17 type of activity. And all of that is summarized in the
18 conceptual design report. We did our first conceptual design
19 on this project for the ESF several years ago, probably about
20 five years ago. Then, about a year ago or two years ago, we
21 decided to do an Exploratory Studies Facility analysis to
22 look at alternate characteristics or alternate types of ESF,
23 constructual methods and so on.

24 In effect, that was a revision to the conceptual
25 design. That is the way I look at it and I think it is

1 appropriate for everyone to look at that the ESF or pertinent
2 studies was a re-visit to the conceptual design.

3 The preliminary design or the Title I utilizes the
4 conceptual design and design criteria that have been
5 developed as a basis. It provides sufficient design to
6 illustrate the extent of the project scope and construction
7 features, and to develop construction cost and schedules as
8 well as design cost and schedules for the final design.

9 It includes these tasks which are all important,
10 but the major issue is to get sufficient design done so we
11 have confidence that we understand what is to be
12 accomplished. And sufficient confidence in development of
13 cost and schedules so that we can convince our management,
14 that is, the Secretary that we understand it. Then, he can
15 say with some confidence then the organization or Department
16 can do this task for this budget or this cost, and within
17 this schedule provided, of course, you get funding as
18 indicated.

19 That is really what we are looking for in the Title
20 I. We are trying to get the project well scoped such that
21 the Secretary can with confidence say, this is what we are
22 going to do. That is all summarized in a Title I Design
23 Summary Report. And, some of us know at any rate we prepared
24 a Title 1 Design Summary Report about two or three years ago.

25 However, the DOE 4700 allows for substantial

1 changes to be made in the Title I design. It is not fixed at
2 that point. But, if you do make a substantial change to the
3 design, then you are required to prepare a revised or a
4 revision to the Title I Design Summary Report; that is what
5 you see here. We have now gone through a revised conceptual
6 design. We have completed the revised Title I design. Now,
7 we are looking for the Secretary's approval to proceed into
8 Title II.

9 Just to refresh your memories, when we lay out the
10 plan for doing a Title I design revision, we said we were
11 going to complete the alternative studies, as I said, because
12 it affected the conceptual design; prepare requirements
13 documents; perform the design activities. We did that, as
14 you know in two areas, the north area and the south area.
15 Last time we talked to you about the north area design
16 reviews. We have had reviews in both of these areas, and now
17 we are going to talk to you about the south area design
18 review which we completed in August. We have modified our
19 summary report and we have submitted to headquarters; the
20 next action is for OCRWM to accept the Title I Design Summary
21 Report; transmit it to our ESAAB which is the Executive
22 Secretary Acquisition Approval Board.

23 Once they have approved it, and it is equivalent to
24 a Change Control Board, by the way. If we make a change
25 which is like something more than \$50 million dollars, this

1 Board must approve it, and in fact we have done just that.
2 So we need a Change Board approval at this point before we
3 can proceed. In fact, once they say we can go ahead, at that
4 point, we can change our base line.

5 I won't go into the configuration management, but
6 this in fact allows us to say, this is where we are going
7 from here. Up to this point, it was the two shaft was in the
8 base line. And we'll resume Title II then in October.

9 Now Title II design has as its inputs, the approved
10 Title I design, design inputs as revised during Title 1. The
11 activities include the preparation of studies; completion of
12 studies; analyses, specifications, drawings, and one of the
13 major issues from a Nuclear Regulatory Commission viewpoint,
14 that is where we do our verification of design.

15 Let me say, I can't over emphasize that really.
16 All the studies that you have seen to-date, although they
17 have been through independent reviews, they are not final.
18 They are done only to the extent necessary so that we can
19 scope the task.

20 With that, if there are questions, I'd be glad to
21 answer them.

22 DR. ALLEN: Would one of you go ahead and introduce your
23 following speakers.

24 MR. PETRIE: Next is Dick Bullock who will talk about
25 the Title 1 design.

1 DR. BULLOCK: The last time I talked to you folks was in
2 July. We covered the reviews that we had done at that time
3 on the north end principally. Today, we will review several
4 things.

5 We will review the criteria by which the design was
6 made; a little bit of what Ted has already gone over, but
7 talking about a few other documents that we had to follow;
8 the purpose and criteria and schedule for the design reviews;
9 those people that were involved which was a real big task for
10 them the reviewers; the reviewed documents, we will take a
11 look at those; the review results; and summarize.

12 You've already heard this. This is just simply a
13 statement that the design study is preliminary, it is
14 comparable to a Title I design. The main purpose of course
15 is to get to a good cost estimate and a schedule and have the
16 project scoped out properly.

17 As Ted has already said, this is the procedure that
18 allows you to change your Title I and get to a new Title II.

19 In addition to 4700, there are other documents that
20 we must follow. Of course the 6430 document talks about
21 design criteria; the Exploratory Studies Facilities
22 requirements document; the Yucca Mountain disposal system
23 document description; REECO's requirements as a constructor
24 and the applicable standards, national standards and state
25 standards that any operation must follow as they develop an

1 underground structure. And of course repository design
2 requirements, which include all 10 CFR 60 requirements, which
3 apply to the repository and those also apply to the ESF,
4 because it becomes a part of the potential repository.

5 Those participants which helped us are listed here
6 throughout the study LANL, USGS, US Bureau of Reclamation,
7 SAIC, Sandia and Parsons-Brinkerhoff. Those people were
8 involved on a daily or weekly basis as the design study
9 proceeded.

10 This cartoon shows, obviously it doesn't show very
11 well in your print, but we can look at it, remember the first
12 time in July we covered the north portal area and some of the
13 facilities at the north portal. We covered the north ramp to
14 the Topopah Springs and the north ramp to the Calico Hills.
15 That is about all we talked about in July. This time we are
16 talking about the south ramp area and the facilities at the
17 south ramp. The south ramp itself to the Topopah Springs,
18 the south ramp to the Calico Hills, and we are talking about
19 both levels; the Topopah Springs level and those drifts to
20 the following areas and on the Calico Hills to the fault
21 areas, as well as the main testing area where most of the
22 testing will go on once it is developed. So, as
23 you might guess, there is quite a lot more mining drawings
24 that went into the south end study than there was the north
25 end study.

1 Feel free to interrupt if you would like.

2 DR. DEERE: While you have that picture there, perhaps
3 you could show the two J-Tunnels that I talked about. If you
4 want to, start with the north ramp coming and turn the corner
5 and take it into the upper level on the north/south down to
6 the fault.

7 DR. BULLOCK: Maybe you would like to help me.

8 DR. DEERE: That's the first J; the second J--both of
9 them continuing to the intersect at Ghost Dance fault.
10 Somewhere in the upper area would be in one of the bedded
11 tuffs or the zeolite tuffs, would be the roadheader excavated
12 ramp to see the contact between two of the beds.

13 DR. BULLOCK: When you mentioned J, I thought it was a
14 rock formation that I had forgotten. I was puzzled here. I
15 think I will have a better viewgraph later on that that can
16 be illustrated.

17 I'd like to put this viewgraph over here; it is the
18 same one that Carl had up. It shows the facilities that are
19 covered on the surface, in particular the H-Road which I will
20 refer to later on. In the south portion there some H-Road
21 that has to be improved, and of course the south ramp areas
22 here; the rock storage; and, the soil storage is here,
23 explosives, batch plant and of course the north portal is
24 here (indicating). So, it give you a good layout. I'll just
25 leave that up there for awhile so you can look at some of

1 those things and see where they are as I talk about them.

2 The south ramp area, some of the facilities that
3 will be located in the south ramp, they are not as extensive
4 as what was located in the north area because at the time we
5 were thinking of the north area as being from the Option 30,
6 the north area was to be the principal facilities, though
7 that could very well change and the south area may become the
8 more predominant facilities and those could be switched. At
9 least for now, the south ramp there is a sub-station,
10 building for switch gear, building for transformers, a small
11 shop, warehouse, changing office facility as well as the
12 transfer for muck. A conveyor system comes out of the south
13 ramp; it is then transferred to a conveyor system which is
14 taken to the stockpile and of course we have the closed
15 portal facilities, because for ventilation reasons, both are
16 flow through ventilation, it is closed and you'll hear more
17 about that later on from Mr. Jurani, and the fans location
18 and if we need a microwave tower it would be located there.
19 Those are some of the facilities that are located in the
20 south ramp in the existing study.

21 Elevation of the south ramp is about 3900 feet and
22 the pad itself is about 8 acres. H-Road improvements in this
23 package, the south package was about 4,000 feet of H-Road
24 that had to be improved. But, in total in the north and the
25 south there is about four miles of road that has to be

1 improved.

2 There is also about 1600 feet of portal access
3 road. A transformer line will go from--it is in the process
4 of change. It was 6900 that would go to the station. After
5 the Canyon Station upgrade, we are in the process of studying
6 this now, and that will be upgraded to 138 KV instead of 69.
7 So that is kind of in transition right now.

8 The booster pump station with approximately 1100
9 feet of pipe; potable water, about 50,000 gallon tank; fire
10 suppression, about 200,000 gallons; waste water pond of 1.5
11 acres; septic tank and leach fields are included in the
12 study. The conveyor system is a 36 inch wide belt. It goes
13 on out to the stockpile which is about 4,000 feet long, and
14 of course there are inspection roads that go with it of about
15 4,000 feet.

16 The ramps themselves, of course they provide access
17 to the Topopah Springs and the Calico Hills. The ventilation
18 system is provided, men and materials handling and going up
19 and down the ramp. And of course, some geotechnical testing
20 will be done in the south ramp to go not as much as planned
21 as in the north ramp at the present time; that could change.

22 The south ramp, we are talking this time of 25 feet
23 in diameter. The reasons why that is 25 feet will be
24 discussed later by both Bruce and Romeo Jurani. The length
25 of the ramp is 9100 feet; the grade is only 1.6% which makes

1 it quite attractive compared to the north ramp. The turning
2 radius is 600 feet going onto the Topopah Springs. The
3 equipment that is in the ramp of course is the ventilation, a
4 very large ventilation duct, conveyor system and utilities.
5 The ventilation duct will be in there during the
6 construction phase or the development phase. That will later
7 be taken out.

8 The south ramp to the Calico Hills is 18 feet in
9 diameter, 7,450 feet long, slope of 10 percent, and at this
10 time has a turning radius of 300 feet. That will be re-
11 studied, of course, in Title II, because that is an awfully
12 sharp turning radius. We recognize that though equipment is
13 available that could do it, it is still a very sharp turning
14 radius. It also contains the same equipment.

15 On the exploration level and I am not sure whether
16 you can see those numbers. I'll read them off here. As far
17 as the development footage, it is a little over 11,000 feet
18 from the length of the development from north to south. The
19 first drift out to the Ghost Dance is 1,520 feet. The drift
20 out to the Solitario Canyon is 2,200 feet. The drift to the
21 Imbricate fault zone is 2,160 and the second drift of the
22 Ghost Dance is 1,075. So it is planned to intersect the
23 Ghost Dance actually three times in the process of developing
24 the Calico Hills.

25 MR. GERTZ: Dick?

1 DR. BULLOCK: Yes.

2 MR. GERTZ: All of those are 18 foot drifts right now?

3 DR. BULLOCK: They are planned at this time unless
4 something comes along and tells us something different.

5 DR. DEERE: Excuse me, Don Deere, again. Could you
6 back up and put the last slide up again?

7 DR. BULLOCK: Yes. You bet.

8 DR. DEERE: You have the three crossings of the Ghost
9 Dance. I guess the one that we mentioned as a possible
10 target one would be the main one as you come whipping down
11 the north-south drift when you cross the Ghost Dance.

12 MR. GERTZ: You come from the south and go up.

13 DR. BULLOCK: If you came from the south and go up then
14 you would go off here to a distance of 1520.

15 DR. DEERE: No, just keep right on going.

16 DR. BULLOCK: Oh, keep on going here?

17 DR. DEERE: Yes. That point right there.

18 DR. BULLOCK: Oh, okay. That point.

19 DR. DEERE: And that is why we say whether it is the
20 south that continues to that or whether it is the north that
21 continues is up to your engineering analysis.

22 DR. BULLOCK: Okay. I'm glad you cleared that point.

23 DR. DEERE: Yeah.

24 DR. BULLOCK: Now on the Topopah Springs, the distance
25 from north to south is about 10,600 feet. Two major

1 crosscuts, drifts going out the perimeter, one is 3,220 out
2 to the east and one is 3,800 feet out to the west. The one
3 going to the west is 2.46 percent upgrade; the one going to
4 the east is about it looks like over 5 percent downgrade.
5 And of course, we also developed out to the Imbricate fault
6 on this level, primarily we are developing the main testing
7 area, which I will have a blow-up of in just a minute.

8 One thing I would like to point out though while it
9 shows the whole picture, is that there is ample space to more
10 than double the amount of testing should it be required. In
11 fact, this whole test area could be flipped-flopped over into
12 this area right here, if you see what I mean. So, there is
13 plenty of space here to repeat all these tests to the
14 northeast.

15 And if you will look at the layout, it is turned a
16 little different in your--this is the way that was oriented
17 on the last plans, so I oriented it this way here. But, you
18 can see all the tests--this is the way the testing area looks
19 at this time. It has been an evolving process as tests
20 change and as our concept of separating certain things and
21 getting the spacial distance that you needed. In general,
22 this area right in here is the operations area. Though there
23 are a few tests scattered around the perimeter because they
24 were trying to get quite a ways away from the others, the
25 same tests run elsewhere. But, all the testing that was

1 planned in the original testing program are still located
2 about the same types of things that were planned here before.

3 The sequential drifting test here, the repository
4 horizontal near-field hydrological testing here; these two
5 drifts go downgrade and this drift goes upgrade, so there is
6 a spatial relationship there, plus heater block tests,
7 canisters tests--you can read those. But, this is the way,
8 at least at this time the way the testing, the main test
9 level area was planned to be developed. And this would be
10 developed with a roadheader machine, mobile miner, I should
11 say, developed most of this.

12 Just a quick note on the ventilation system because
13 it will be talked about in detail. We do plan on once the
14 operation is fully developed, to have flow-through
15 ventilation. It will require about 400,000 CFM, which is
16 quite high. The main fan motor is 700 BHP. The static
17 pressure is seven inches, which is plenty. That 400 will be
18 split between the Topopah Springs, 285,000 and the Calico
19 Hills 115,000. And of course, there would be auxiliary fans
20 on both levels pushing the air where you need it or pulling
21 it.

22 Now let's talk a little bit about the review
23 process that we've been through in the last few months.
24 Management review has helped to develop a consensus with
25 those people that were involved in the project, and to get a

1 level of understanding that what they wanted incorporated was
2 incorporated and we are indeed in compliance with the upper
3 tier requirements.

4 The independent technical review was somewhat
5 people. You bring in people who are not involved with the
6 project in anyway before, and they are to gain an independent
7 view of whether or not this preliminary design is meeting the
8 design criteria and purpose of ESF. That is the main purpose
9 of the two reviews.

10 The review criteria, it was stated a little bit
11 different in the reviews themselves, but what it said
12 basically was, consider the following list of parameters for
13 which this design must be consistent and whether or not the
14 parameters can be implemented into the design. And the
15 things they would look at are the applicable NRC regulatory
16 issues; site characterization testing, can these things be
17 incorporated in the design; the MSHA and OSHA regulations of
18 course had to be in there; reliability, maintainability,
19 operating ability, can these things be incorporated in the
20 design that you are working with; constructability; and
21 detailed stress and thermal loading, can these things be
22 incorporated into the Title II design; environmental
23 compliance, is there anything that would cause you to be out
24 of compliance with the environmental issues and socioeconomic
25 issues. So that is what the reviewers were asked to look at

1 when they looked at this package.

2 This is the overall schedule of the review system
3 that we went through. We talked about the first two in July
4 and covered those first two reviews. July 29th we held a
5 management review on the south area, an independent technical
6 review in August and submitted both the north and south
7 packages to DOE for their internal 06-04 review, August 26th,
8 and finally submitted the package to DOE on September 3rd.
9 And bear in mind, between these two weeks, between these
10 review processes, we had to take the comments, resolve the
11 comment with the commenter, get his sign-off on the comments
12 and then incorporate them into the drawings and get ready for
13 the next review. So this was the process that we went
14 through.

15 The reviewers, project office, Sandia, Los Alamos,
16 USGS, U.S. Bureau of Reclamation, Reynolds Electric, Science
17 Application, and the project office for quality assurance, as
18 well as the project office for technical issues and the TRW,
19 these people sat in on the management review. The technical
20 reviewers, there is a long list; I won't review them. You
21 can see that the discipline reviews, we brought out Raytheon,
22 people who were not acquainted with a review and they were
23 the ones that reviewed the technical aspect from discipline
24 point of view; LANL from a testing performance assessment
25 with Sandia; QA; the Project Office construction; REECO,

1 TRW and Parsons-Brinkerhoff for the repository interface,
2 T&MSS for maintainability and operating ability and
3 environmental and regulatory; RSN safety man reviewed it from
4 a safety point of view; Decision Analyst from strategic
5 insight looked over our package; geology was T&MSS; and
6 hydrology U.S. Bureau of Reclamation.

7 In addition to the reviewers, we also had
8 observers, and those observers are listed here and there were
9 nine different organizations listed in the observers.

10 MR. GERTZ: Why don't you go over those again, Dick.

11 DR. BULLOCK: DOE/Yucca Mountain Project of course were
12 there for an independent observer point of view; OCRWM/Weston
13 from headquarters; DOE/NTSO had representatives there from
14 the test site; MSHA had people there looking over our design;
15 U.S. Bureau of Mines also had engineers there; the State of
16 Nevada had a representative consultant there; I believe in
17 the first reviews the county was represented, I am not sure
18 about the final technical, but they were there for the
19 management, at least I believe two counties were; TRB, Russ
20 was there and looked at the package; and the NRC
21 representatives were also there.

22 Just to give you an idea of how many reviewers then
23 reviewed the package, in the first management review there
24 were 14; second the independent review, the first independent
25 there were 16 for the north end; for the south end there were

1 18 reviewers for the management review; there were 21
2 reviewers for the independent review; and in addition, there
3 were an additional 20 observers for each of these technical
4 reviews. And then for the QMP-0604 DOE had another 5 people
5 look at it.

6 What they were reviewing were drawings for one
7 thing. Principally we are talking today about the south
8 area, and you can see there were 112 drawings that had to be
9 examined and critiqued. But, the people that had reviewed
10 the north end as well, now came back to review the south end,
11 had to go back to the north end drawings to see that their
12 comments were incorporated in those north end drawings and
13 then later sign off on them if indeed they were incorporated.
14 So, they had a big job to do looking at both packages, a
15 total of 210 drawings.

16 You can see the increase in mining in the south
17 because there were 42 mining drawings in the south. Those
18 people that did the reviewing had a lot of work to do and
19 they deserve a lot of credit. The studies that were reviewed
20 for the south end were a preliminary study on opening
21 stability analysis. We were talking about methodology
22 primarily; two studies on ramp sizing; two studies on
23 ventilation; one on the development or preliminary
24 ventilation and then the operations ventilation; one on water
25 distribution system and one on waste water, compressed air,

1 and finally a preliminary soils/rock study plan was there for
2 review. That was done primarily by the Bureau of
3 Reclamation, USGS and us contributing to it.

4 The package that went together is a design summary
5 report and we have talked about it before and basically these
6 five volumes provide general description of the exploratory
7 studies facility, provide basis for decision to proceed in
8 Title II and are comprised of five volumes.

9 These are the chapters that had to be revised in
10 the main text, the narrative; 14 chapters. I'll show you a
11 little more later on, but RSN had a lot of help from SAIC,
12 from LANL, from Sandia, from REECO in developing many of
13 these chapters. I think we only did about half the chapters
14 and other participants did the other portions that were more
15 in their area of responsibility. I won't read these, but you
16 can see that they pretty well cover the field of what you
17 would look at in a feasibility study.

18 Certainly, one of the most important chapters is
19 the cost estimate, because that is what you are trying to
20 come down to, a cost of schedule that DOE can go forward
21 with, that the DOE people can feel that we have looked at all
22 the possibilities. When they did the independent cost
23 estimate and it came within four percent of our estimate; we
24 felt very good.

25 Volume 2, simply contains what were given in the

1 north review and the south review. So, you've seen them
2 before and I won't repeat them again.

3 Volume 3, are the drawings and Volume 4 is the ESF
4 outline specifications, which I have not mentioned before,
5 but there was a 101 outline specifications developed for this
6 south area review.

7 Volume 5 is really a collection of reference
8 material to previous studies. An awful lot of Sandia studies
9 in here of work that was done earlier, back when there was a
10 two shaft concept. But the methodology of some of their
11 things is still the same. So we included a lot of the back
12 up material in Volume 5, the appendices, as well as the back
13 up for the cost estimate. All the back up for the cost
14 estimate is also in Volume 5. So, this is more the reference
15 material and back up material that is in appendix 5.

16 Going back and looking at the results of the
17 management reviews, this was of the north area, and you saw
18 it back in July, a total of 490 comments, all resolved, all
19 included into the documents. Sixty-four of the 490 were not
20 applicable to make any changes.

21 Again, the technical review, the 346 comments, the
22 same applies. All comments were resolved. Twenty-nine
23 comments had no application for change.

24 Going onto what we are really here for is to talk
25 about the south. In the south area management review, there

1 were 494 comments. And to those we added the outline specs,
2 so we were commenting in more things this time than they were
3 commenting on the north area review. There were 214 that
4 were applicable to Title 1. Of those, 115 were not
5 applicable to make any changes in the design. There were 165
6 that were applicable to Title II design. Of all those
7 comments that were applicable to change, they were changed
8 and were incorporated into the documents. All comments
9 reached resolution.

10 Such things, the types of comments, some minor
11 comments, examples, there is one that is a long list of long-
12 lead procurement items could be reduced considerably. We
13 also had comments, one comment was, your outline specs have
14 too much detail. Another comment was your outline specs
15 don't have enough detail. So, you get these kinds of things
16 that you have to work with.

17 Define the underground worker as MSHA would, in
18 otherwords an authorized person. Couple of significant
19 comments, the maximum probable flood discussions must be
20 consistent in the reference basis cited. Of course it
21 should. And incorporated into the Design Summary Report, a
22 discussion or schematic showing the transition of the ESF
23 Title I design from the shafts. That was something we had
24 left out and needed to be in the Design Summary Report.

25 Number of comments in the Technical review were

1 452; 218 were applicable to Title I; 234 were applicable to
2 Title II. All were resolved and 65 of those comments were
3 not applicable to change in Title I.

4 Typical comments, a minor comment, provide freeze
5 protection from ambulance parked in ambulance area; bury
6 utility lines deep enough to prevent freezing. I am giving
7 you these just to give you a flavor of the types of comments.
8 They vary all over the place. Significant comments,
9 examples, recommend method of conveyor suspension should be
10 evaluated to assure current approach is suitable to the
11 proposed application. That certainly was something that had
12 to be restudied in Title II. Not only the suspension system
13 but the location of that conveyor. It was in the tunnel
14 periphery.

15 Sizing of water supply services underground should
16 be evaluated to assure adequate support of expected tests and
17 underground operations including fire protection. That is
18 part of the Title II design. All these things have to be
19 looked at, and that will be looked at in Title II, I am sure.

20 In summary, by letter dated March 4, the A/E was
21 authorized to develop an engineering plan to do this study.
22 The study consisted of 210 preliminary drawings, 20
23 preliminary trade studies, 101 outline specifications and
24 revising 14 chapters. I have already said we had a lot of
25 help on revising those chapters. There are 14 appendices

1 sections.

2 We performed four management and independent
3 reviews where we encouraged comments from an average of 26
4 commentors per review. These commentors produced 1783
5 comments. All comments reached resolution and resolved with
6 the commenting organization.

7 We revised the Title I preliminary shaft analysis
8 report also in addition to that. And submitted all the RSN
9 approved deliverables to the project office by September 3rd.

10 Just to turn for a moment to Title II, we are
11 waiting approval to proceed. Looking at some of the details
12 expanding a little bit on what Carl mentioned earlier that we
13 will be entitled to. Of course, we want to finalize the
14 location of the portals. At least as far as we can look at
15 it at this point.

16 Area design sufficient for ripping, blasting and
17 site grading of the sites. Portal design sufficient for
18 blasting, if required. Topsoil and subsoil storage area, not
19 much of a design problem, but needs to be looked at and
20 designed. The waste water storage area. Potable industrial
21 water distribution system. Electrical substation sizing;
22 facility layouts, not detail design, just the layout of them.
23 The building envelopes and primary sizing the buildings. An
24 operations plan should be developed; maintenance plan; safety
25 analysis report on that which is designed; value engineering

1 report; and associated performance assessment related to the
2 design.

3 Trying to look at those things that can be designed
4 and ready to go for the site prep package, so that when they
5 start to do some work, the design will be there to place the
6 soil and the rock, or whatever it is, it will be in place.

7 That covers my presentation. If there are any
8 questions, I would be glad to cover them.

9 DR. CORDING: Ed Cording, Dick last month there was some
10 work being done on looking at various numbers of TBMs and
11 various scenarios for advancing them down into both the
12 Calico Hills and the repository level.

13 DR. BULLOCK: Yes, sir.

14 DR. CORDING: So there was some with the 4 TBM approach,
15 2 TBMs, 3 TBMs; various combinations. I know that was the
16 work that was in progress or was just being developed at this
17 time. How will that be brought into the other work that you
18 are doing on Title I and Title II. What is the status of
19 that and how is that--is any of that being included in Title
20 I? Is that coming in--that is basically going to come into
21 the Title II? What is the status on that?

22 DR. BULLOCK: Well, from our point of view, that part is
23 not in our package. We have looked at some of these things,
24 and certainly they are all feasible and affect the cost and
25 affect the schedule. That will be looked at in great depth,

1 I am sure in the early part of Title II. And Ted, you might
2 want to expand on that.

3 MR. PETRIE: Yes. This is Ted Petrie with DOE. Dick
4 is correct, we will be looking into the construction sequence
5 at which phases of construction get done first, as a part of
6 this initial effort to select the location of the first
7 portal.

8 DR. DEERE: When I see there are 1783 comments, well I
9 guess our four or five comments were not too great. However,
10 I would hope it might have more impact than some of the
11 comments that came here.

12 Certainly, they involve in many ways, management
13 decisions as well as technical. They are connected. It is
14 hard to separate many of these out. But, when you look down
15 the road and you see the funding problem that suddenly came
16 up and has caused great difficulties, then one has to make an
17 assumption that it is all going to come back next year and we
18 will be able to recover and maintain the schedule. But, what
19 if it doesn't? Then, you have to look at your layouts and
20 say, do we have one that can move forward on this year's
21 budget, because, that may be all there is. So, I think this
22 was one reason of looking at the two separate J tunnels to go
23 after, as fast as possible some critical information for the
24 scientists, particularly the geohydrology problem.

25 DR. BULLOCK: Right.

1 MR. GERTZ: Don, I absolutely agree with you. Many of
2 those are management decisions and what will promote program
3 viability as I have called it, what will demonstrate progress
4 if there are limited budgets. That's decisions that we are
5 going to need to be made. And I want to point out just to
6 describe what you have there, what you have there is purely
7 as we discussed, a preliminary design. There has been no
8 final decision as to pad or portal location, as to whether
9 there are two or four TBMs, as to whether that is the way it
10 is going to look or not. Maybe the final design will
11 encompass many of the suggestions that you all came up with
12 today. That is part of our next phase is to figure out what
13 is best to do next. And maybe, Don, it consists of
14 alternates. What do we propose to do if you have sufficient
15 funding, and what do you propose to do if you have limited
16 funding? There may be two different approaches depending on
17 it. That becomes much of the trade-off studies that I am
18 continually doing as a project manager.

19 DR. DEERE: Thank you, Carl. I think that is a good way
20 to approach it. And certainly, we had in our minds some of
21 the contingencies that might have to be taken down along the
22 road and which ones will still allow you to get the early
23 site suitability assessment moving along. Some of the
24 critical areas we think are the ones that we mentioned.

25 MR. GERTZ: I would like to point out to you that my

1 personal opinion as a project manager is I believe we will
2 have lots of questions resolved when we get underground with
3 the big excavation. The sooner we get there, the better.
4 So, I want you to know that is my personal opinion.
5 Unfortunately there are other tradeoffs that I have to make,
6 all keeping in mind how soon can I get the low ground though.
7 That is one of my views.

8 And Don, I would like to just take a minute to go
9 over your comments on one of Dick's view graphs so I make
10 sure that I and my team understand and if you don't mind, I
11 am going to go up there and reiterate your comments and see
12 if I have understood them properly, but I think so.

13 DR. BULLOCK: Fine.

14 MR. GERTZ: This is the one you used. I took your
15 comments. I think it is important that we understand what
16 you've said so that we are talking the same thing. As I took
17 your comments, you would say, one of your J tunnels would be
18 something like this (indicating), to wherever the Ghost Dance
19 would be from the North.

20 DR. BULLOCK: Right.

21 MR. GERTZ: Another one would be south one coming down
22 over to here, wherever you intersect the Ghost Dance.

23 DR. BULLOCK: That's right.

24 MR. GERTZ: Let's call that a fault or whatever.

25 Another one would be--let's go up in there and go

1 off to the upper interface of Topopah Springs or wherever the
2 welded and non-welded tuff at the Ghost Dance fault.

3 DR. BULLOCK: Right. At the Ghost Dance fault and
4 obviously it should be a little to the south so that there is
5 a larger displacement on the fault zone.

6 MR. GERTZ: Right. In plan view it would be off the
7 repository block, probably.

8 DR. BULLOCK: Could be.

9 DR. CORDING: I am not sure whether you would be able to
10 catch it off the repository block or not, I'd have to look at
11 that. But, the other possibility there Carl, might to be to
12 bring that test ramp down a little closer to where you want
13 to go in the upper level and then either loop it around or do
14 something to bring it closer, you know.

15 MR. GERTZ: Which one is that, Ed?

16 DR. CORDING: The north ramp. If you are trying to get
17 over in that area, perhaps the direction of that ramp could
18 be adjusted or even looped and coming back out.

19 MR. GERTZ: And those are good options.

20 The other thing you pointed out is you thought
21 perhaps 28, small of 16 or 18 foot diameter ramps would be
22 more conducive to cost savings, to availability of equipment
23 and everything. And certainly that is what we also agree in
24 that, and that is what we looked at the Calico Hills and
25 reduced it to that for other reasons. And you'll hear more

1 why we have opted to look at this time anyway at the bigger
2 ramps up here, but your thought process is essentially the
3 same as ours if you can get by with a smaller ramp.

4 DR. DEERE: Well, we are also trying to get an
5 operation started that goes a long ways without major changes
6 where you are not stopped and start and bring in another unit
7 and set it up and back up and those sorts of things.
8 Because, if you are limited in funding and you are after some
9 critical information as fast as you can get it, then you
10 should get one operation and take it down and start the
11 other.

12 MR. GERTZ: Get below ground and get a hole and get
13 going, yeah.

14 DR. DEERE: That's it exactly.

15 MR. GERTZ: As a project manager I am very sensitive to
16 that. And I think now is the time to think of that, because
17 we have overcome some of the hurdles that we've had before.
18 The permitting issue, I think is addressed pretty well, or
19 will be either through litigation or legislation, so we can
20 move forward. Our QA plans, our interactions with the NRC
21 are all in place, so now it is just a matter of getting going
22 and demonstrating progress so that we will sustain support in
23 the future. All along the way the more progress we can
24 demonstrate and I think that includes getting a hole in the
25 ground, we better be there.

1 DR. DEERE: Right. And those two tunnels could be again
2 vice versa.

3 MR. GERTZ: I understand that. You had no preference if
4 we did this one in here first and the other one at the Calico
5 Hills.

6 DR. DEERE: I don't think we do.

7 MR. GERTZ: That is certainly a matter of studies.

8 DR. BULLOCK: I might mention that if you come in with a
9 Z tunnel like this you are also decreasing the grade. While
10 looking at those things, you would have to go up about 9500
11 feet and you would probably pick that up by going within Z to
12 bring it back to five percent. You are also raising that
13 repository level up about 145 feet, so we have been looking
14 at this.

15 DR. CORDING: Good.

16 I think one of the things we have been thinking of
17 here and what Professor Deere was mentioning in his
18 introductory remarks is that we are starting out the way the
19 present plan is, they start out with a 25 foot machine and
20 then you are switching to an 18 to get down below. And we
21 certainly like the idea of the smaller diameter. But, in
22 that process of switching there, you've got to build a
23 starter tunnel which is drill and blast and that is several
24 hundred feet. And, you are talking about months of work to
25 get that all started. At the same time you are doing that

1 you have pretty well stopped your other operation. Then
2 you've got the ventilation requirements. We can discuss
3 this more and I am interested in what your perspectives are
4 on these things, but you've got the ventilation requirements
5 to take care of all these machines finally starting up and
6 going again. If one is instead of spending time waiting for
7 machines to get started and to get mobilized underground, you
8 are bringing one down and taking it all the way through, you
9 are able to make progress with those machines; you are using
10 less machines; your ventilation requirements start to reduce
11 and I think there are a lot of beneficial effects of that
12 which we assume would come out as you get into your more
13 detailed design tradeoff studies.

14 DR. BULLOCK: I just have one more comment. Remember
15 how we got here from there was they went through the
16 alternative studies, where they had originally 34 options
17 which they looked at and they reduced to this option. This
18 option is what we did a design study on. There are many
19 variations and many appropriate further studies to come up
20 with these things. So all you are saying is right in line
21 with what needs to be done.

22 MR. GERTZ: I guess what I need to do is emphasize from
23 a management point of view. Because you see drawings, 200
24 drawings in a report doesn't mean it is set in concrete
25 literally or figuratively. It is just our basis for going to

1 the next step and the next step may look completely different
2 than this step as we do further studies. That is I guess
3 much like this looks different than the two shaft concept we
4 had on the board a few years ago.

5 DR. DEERE: And I would like to emphasize also, that we
6 would not have been able to make these comments that we did
7 in a constructive sense if we weren't building on the work
8 and the studies that you had already done.

9 MR. GERTZ: And I guess before we get onto the studies
10 or one of the trade studies by Bruce, I wanted to point out
11 one thing that Dick didn't enhance on, but the observers that
12 we had in design reviews were more than observers. I think
13 Ted, you had a four o'clock meeting everyday with those
14 observers and we took into consideration any comments they
15 had at those times. So, it wasn't merely silent observers,
16 it was interactive observers and we appreciate that.

17 MR. PETRIE: Mr. Stanley.

18 MR. STANLEY: Thank you very much. Now that everyone
19 has made all my excuses for me, I'll try to get into some
20 meaty topics and the first is going to be on ramp diameters.

21 This morning I would like to address ramp diameters
22 relative to both the Topopah Springs ramps north and south
23 and the Calico Hills ramps, north and south.

24 First of all, I would like to start by addressing
25 the size of the Calico Hills ramps. The Calico Hills ramp

1 requirements were based upon the ability to perform testing
2 in the ramps; the ability transport personnel safely and
3 adequately on a timely basis; to accommodate equipment; to
4 accommodate the utilities that were necessary; to provide
5 adequate ventilation for the activities underground; and to
6 provide an emergency escapeway. Also, to limit any effects
7 to isolation capabilities that may be in place.

8 We considered some functional goals in sizing the
9 Calico Hills ramps, those being to provide a rapid access to
10 the Calico Hills as desired by everyone on the program for
11 early site suitability evaluation. Second was to accommodate
12 the required testing, both by space and configuration
13 requirements. And the third was to provide a safe
14 arrangement for utilities and personnel movement.

15 Now some of the general considerations that came
16 into play were that the size of the ramps were to be based on
17 a reference design being the Option 30 of the alternative
18 studies with enhancements of the optional shaft being in the
19 north area, and with the location of the main test area also
20 being in the north area. We have recognized that the
21 placement of the conveyor within the outline of the ramp
22 influences the required diameter. This is pretty much of a
23 construction or an engineering aspect to consider.

24 We also had to consider that the alcoves may be
25 required at various locations in the access and how to

1 excavate alcoves and in what sequence to excavate these
2 alcoves. And, lastly, that the ventilation requirements will
3 definitely influence the access diameter.

4 Next I'd like to put up the outlines of a couple of
5 considered sizes; one being a 16 foot diameter size; the
6 other being an 18 foot diameter.

7 Originally, we had considered a 16 foot diameter
8 cross-section for the ramp. We had located the conveyor belt
9 to be hung above the area giving us adequate road space. Due
10 to certain comments which we received in the management and
11 technical reviews, we were requested to move the location of
12 the conveyor down to the spring line and locate it and attach
13 it to the rib. As part of the other considerations we had to
14 look into were whether to fill this round configuration or
15 whether to cut bottom.

16 After we had moved the conveyor and decided on the
17 filling concept, we recognized here that we were limited on
18 our available space for moving equipment and people. On a
19 second thought, we increased the size of the ramp diameter to
20 18 feet to see how that would affect the available space.

21 Now we have 10 feet 6 inches in width for available
22 roadway, versus the other configuration which allowed us 8
23 feet 6 inches. Now what we want to do in meeting the
24 requirements at whatever size that we select, and whatever
25 size that it is, that size will reflect that neither size

1 ramp precludes testing. We can do testing adequately in
2 either the 16 foot or 18 foot size.

3 The cross-section allows the specified equipment to
4 move and function freely; the adequate spaces is provided for
5 the ventilation and utilities; and, according to the best
6 available information, size has limited impact and is not
7 considered to significantly impact the isolation capability.

8 I want to show how the arrangement meets the
9 functional goals. The arrangement as we have it now provides
10 access for personnel and equipment safely; it provides rock
11 mass exposure adequate for testing; it provides that either
12 size will accommodate the testing and either size will
13 accommodate ventilation requirements; that 9.5 feet of
14 headroom will facilitate the movement of anticipated
15 mechanical excavators working behind a working TBM.

16 Taking all these factors into account, I made up a
17 chart which basically covers the consideration areas. The
18 first being testing, where both sizes will accommodate
19 testing; both sizes will accommodate ventilation; both sizes
20 will accommodate muck handling. However, the reason the 18
21 foot diameter size was chosen for Calico Hills is based upon
22 the safe movement of equipment and personnel. The 16 foot
23 diameter size fell short because we could not accommodate an
24 8 foot wide roadway for the equipment which we have selected
25 preliminarily for our purposes, plus a 30 inch walkway for

1 people. In other words, there is not enough room for a
2 person to stand and walk while being passed by a vehicle in
3 that walkway without having to accommodate that with a cut
4 out.

5 DR. DEERE: A question.

6 MR. STANLEY: Yes, sir.

7 DR. DEERE: Don Deere, again.

8 How strongly did the commentators feel about that
9 elevated position of the conveyor belt?

10 MR. STANLEY: The comments came from the constructors
11 and from the construction arena. They felt fairly strongly
12 that we are attempting to build a very safe laboratory-type
13 environment that is not really a mining environment. In a
14 mining environment, we may go up above and move this conveyor
15 up above as is typically done in the soda ash, for example.
16 And we could provide adequate shielding. But, this was a
17 patchwork type of approach to the problem. They felt much
18 more comfortable with moving it to the rib line or spring
19 line. So we acquiesced to moving that down there and doing
20 further studies on that and a Title II trade-off analysis.

21 So, based upon that comment and our resolution to
22 that comment at this time, that influences the size of the
23 roadway and therefore, what we have chosen for the size of a
24 ramp. It can be done with a 16 foot, that I want to
25 emphasize, but for that reason, safety reason, is why the 18

1 foot diameter has been chosen.

2 DR. DEERE: But I take it it is still a possible
3 solution if you build in correct safety features and you have
4 any benefits to be gained?

5 MR. STANLEY: Absolutely.

6 DR. DEERE: You would hate to see thousands and
7 thousands of feet be perhaps constrained by that one point
8 that might have another engineering solution.

9 MR. STANLEY: That is correct. Engineering solution can
10 be made to, as I said before, in the case of the 16 foot
11 diameter, move the conveyor belt upwards to where we have
12 somewhat of an adequate standing area for a person or
13 personnel. We can cut a little bit of bottom to be able to
14 have a cut out environment. But, this crosses over to the
15 realm of programmatic management decision on what we would
16 like to be able to do here.

17 MR. PETRIE: This is Ted Petrie, DOE again. Safety is
18 one of our most very important issues as you can probably
19 well imagine. We do put a lot of emphasis on it within the
20 department.

21 DR. DEERE: I agree.

22 MR. STANLEY: We cannot overlook safety, as Mr. Petrie
23 just said. It is of our primary importance. What may be
24 safe for a mining environment may not be well received by a
25 laboratory environment, so we must take that into account.

1 In conclusion, on the Calico Hills ramp size, the
2 ventilation, muck handling and the transportation equipment
3 space requirements are the primary determinants. The testing
4 program as it is currently scheduled can be accommodated in
5 either size and that all applicable ESFDR, that is
6 Exploratory Studies Facilities Design Requirements, affecting
7 the ramp diameter for Calico Hills, are met by the proposed
8 18 foot diameter.

9 Now I would like to address the Topopah Springs
10 ramp. The Topopah Springs ramp ESFDR requirements are the
11 same as the Calico Hills requirements; testing; personnel
12 transport; accommodate equipment; accommodate utilities;
13 provide adequate ventilation; emergency escapeway; limit the
14 effects of isolation capabilities; and we felt that we also
15 had to consider the capability of future use in a potential
16 repository environment.

17 The reason that we felt that were some 10 CFR 60
18 requirements which I will be getting into later. I thought I
19 had a viewgraph right now, but I can mention these other
20 requirements. Some of the functional constraints which we
21 considered on the Topopah Springs ramp was first for
22 transportation. For transportation purposes, we determined
23 that a 36 inch wide conveyor was needed for muck removal
24 throughout the entire facility, not only the ramp, but the
25 entire facility excavation. We must accommodate rubber-tired

1 vehicles a maximum of 8 feet in width; and there will be an
2 occasional 9 foot wide mechanical excavator moving within the
3 ramp cross-section. This is to traverse its way from the
4 surface down to the Calico Hills level. I think we are
5 primarily addressing a roadheader.

6 Now the two various sizes, just to give you
7 examples of how they could compare, I want to put up a cross-
8 section of a 23 foot diameter ramp and a cross-section of a
9 25 foot diameter ramp. You can go over this in the handout.
10 The cross-sectional configuration is the same, as you can
11 see, differences being in the available space for equipment
12 movement and personnel movement. Here in the 23 foot
13 diameter, we have 12 feet of roadway available. We have an
14 ultimate 14 foot 6 inch without the conveyor. The 25 foot
15 diameter cross-section makes available 13 feet 6 inches of
16 available roadway space and 16 feet of available ultimate
17 road width without the conveyor.

18 Now I have to also mention that under this
19 configuration we have decided to fill for roadway at this
20 time, rather than to cut bottom or to put in a permanent
21 invert. We also have included, which we don't see in this
22 configuration, minimal rock support, without putting in a
23 concrete liner, per se. But we will include rock support
24 everywhere where needed for safety.

25 Now on the 25 foot diameter, which we have chosen,

1 the functional constraints are satisfied in that we have
2 provided a 36 inch wide conveyor. The road width
3 accommodates an 8 foot wide vehicle and a 30 inch walkway. A
4 mechanical excavator may pass on an occasional basis, so
5 being careful, we may be able to take that down and encroach
6 upon that walkway space.

7 A 72 inch diameter vent duct provides enough air
8 for about 400 square feet drift cross-section, which this
9 represents here with all the utilities included, and the
10 roadway also. It permits the 400,000 CFM of air movement
11 with a maximum of a 1,000 feet per minute velocity in those
12 areas where you may have a vehicle and the cross-section is
13 enclosed or closed down. This will be addressed to a greater
14 degree by Mr. Romeo Jurani in a later presentation. What we
15 are trying to achieve here is to minimize that velocity to
16 get it down below terminal velocity.

17 The conclusions for the ramp size on the Topopah
18 Springs which we came to was based upon this chart basically.
19 Here again we have considered ventilation, equipment
20 movement and testing in future use consideration at this
21 time. The ventilation for a 23 foot diameter, does not
22 according to our calculations accommodate enough air at the
23 required velocities or restricted velocities, let me phrase
24 it this way, but the 25 foot does.

25 Equipment movement and personnel movement can be

1 accommodated by both scenarios, however, the 23 foot diameter
2 configuration is marginal. The reason I put in marginal here
3 is it was a concept that if the testing community wished to
4 use small, narrow, five foot wide vehicles, we may be able to
5 accommodate two vehicles passing on that roadway. Anything
6 wider than that would not be recommended; it would be one-way
7 traffic. Testing can be accommodated in both sizes; it can
8 be accommodated in most any size as we have looked at.

9 The last, under future use consideration, the 25
10 foot diameter configuration of the road bed as it is shown,
11 will accommodate what is currently known for a transporter
12 vehicle. The 23 foot diameter roadway will not accommodate
13 that transporter vehicle size. Transporter vehicle as known
14 to-date, being approximately 15 feet wide. So if you go back
15 to the 23 foot diameter configuration you can see that that
16 is not going to be useful.

17 I threw this in just for consideration purposes,
18 just to demonstrate that a 23 foot diameter would certainly
19 have to be over excavated; 25 foot diameter may have some
20 other alternatives available to it.

21 The conclusion for the TS access ramps was that the
22 25 foot diameter cross-section fulfills the requirements and
23 the constraints. Based on ventilation, the 25 foot is an
24 adequate size for the Exploratory Studies Facility Design.
25 The diameter is influenced by the need for a flat roadway in

1 a round opening. Here again, that is pretty much of a design
2 constraint. We have chosen to in-fill on its round opening.
3 We recognize that we can cut bottom. But this is a topic
4 for a future trade-off study in Title II design. I just
5 want to emphasize that we have recognized the ability for
6 flexibility. There again, at the bottom we have two five
7 foot wide vehicles can pass without the need for a cutout.

8 That concludes the presentation on the ramp sizes
9 and I am sure there are some questions that I may address.

10 MR. MCFARLAND: Bruce, I would like you if you
11 would stress the point though, as I understand, that the
12 presentation, the analysis assumes simultaneous operations of
13 a machine, tunnel boring machine, as you said excavation
14 behind it and men and equipment going in. Once you decouple
15 these functions as an incremental, as not being able to--if
16 you assume that I may not have my entire budget, I have to
17 decouple, then these assumptions have to be re-examined. For
18 example, the 400,000 cubic feet per minute, I believe assumes
19 ventilation from both levels simultaneously, Calico Hills and
20 Topopah Spring. If you were to operate--if you were to defer
21 testing until after construction, if you were to defer
22 testing at one level in lieu of testing at another level, if
23 you were in anyway to decouple the excavation, the drifting
24 and the testing, then your assumptions on diameter should be
25 re-examined.

1 MR. STANLEY: Absolutely. And, I will re-emphasize
2 that, as you asked. The sizes that we have chosen so far are
3 so very much based upon the scheduling and the assumptions
4 which we have made for coupling and decoupling the
5 activities. It is based upon how and when we put in testing
6 the alcoves for example. Do we put in an alcove, immediately
7 after a TBM passes or can that be deferred until future
8 excavation. That has an impact, for example.

9 One thing that I did not mention because it would
10 be stealing a little thunder from a future presentation, is
11 that the area 200 feet immediately behind trailing gear on a
12 TBM is dedicated to mapping, so that has a special
13 configuration that is necessary for that function.

14 And it is certainly true that if one were to
15 continue that TBM all the way down through here, that it
16 would be engineeringly better at anytime to stop and put in
17 at least a few rounds for a cut out in any case. But, the
18 program's purpose will have to drive what we want to do on
19 this whole project. We can accommodate most anything if
20 properly done in a proper sequence and safely and well-
21 designed.

22 MR. GERTZ: Bruce, excuse me. This is Carl Gertz.

23 You didn't elaborate on the 10 CFR 60 requirements.
24 You indicated that you thought you had a viewgraph right
25 after that one, because, certainly that is one of the

1 considerations I think that you all took into as part of the
2 requirements precisely in this ramp. In addition, what Russ
3 pointed out to some simultaneous operations that we assumed
4 at this level, we also assumed if suitable, it would be close
5 to being what we needed for the permanent repository. And
6 when you spoke of transporter vehicles, I am sure that is
7 what you were meaning was the transporter vehicles for
8 eventual waste emplacement. Correct me if I am wrong.

9 MR. STANLEY: That is correct. It was for eventual
10 waste emplacement. I don't have the overhead at this time.
11 I was incorrect. It really refers to ramp gradient more
12 than it does the ramp size. But the 10 CFR 60 requirement to
13 which I am alluding, asks for consideration to be given to
14 accommodate that future use and for the consolidation of
15 effort to be able to handle anything that is being sized or
16 built for such an important purpose.

17 DR. DEERE: Yes. Don Deere here. But, yet it doesn't
18 specify the method you have to use to be able to do that.
19 You just simply have to be able to convert, either make it
20 big to start with or do conversion if it is found to be
21 desirable and you have a facility that is suitable.

22 MR. STANLEY: That is correct. That's one of the ways
23 of addressing that.

24 Ramp size can be changed. Ramp gradient is very,
25 very difficult to change.

1 DR. DEERE: But we are talking on the size now.

2 MR. STANLEY: That is correct. And so that is one thing
3 that I wanted to bring into the discussion.

4 MR. GERTZ: Certainly, I agree with you, Don. The
5 regulations do not preclude your oversizing it later on or
6 anything; they just want you to consider it.

7 DR. DEERE: Yes. You know what has worried me just a
8 little bit, we made a fairly early decisions; perhaps it was
9 presented last June that you looked at making it the correct
10 size to eventually handle everything, versus making it
11 smaller and then enlarging if it seems to be suitable. Well,
12 I'm afraid that that early decision that was made, has guided
13 almost everything that has gone beyond that, and that is why
14 we say, well maybe this early decision is subject to re-
15 looking, particularly if you are talking about spending money
16 today which is not available, for something you are not going
17 to need for ten to twenty years.

18 Now if that is my money, I've got to think very
19 closely about doing that, particularly when I don't know if I
20 am going to have to do the future expenditure.

21 DR. BULLOCK: If I could just add one thing. The other
22 thing we have to look at is current technology. Expanding a
23 ramp from 16 or 18 to 25 is not something that is done very
24 commonly. I know of at least one case where tunnel boring
25 device has done this. There are people in the room that

1 could probably speak better to this than I could, but there
2 is not a wealth of information on the exact type of machine
3 that you use to ream out a tunnel to start with 18 feet and
4 go to 25 feet. This is something--I am not saying that it
5 can't be done, but it is certainly something that must be
6 considered in the overall study of doing it. Talking to the
7 vendors, can such a machine be successfully built and
8 operated successfully on a decline.

9 MR. STANLEY: And the one other thing I wanted to
10 emphasize and bring into the picture that we don't seem to be
11 remembering is that factor of ventilation. Ventilation here
12 requires us currently, under our current requirements and
13 this will be addressed a little bit later by Romeo Jurani.
14 We don't want to exceed terminal velocity of dust for
15 example. We don't want to be kicking dust up in the ramp.
16 Yet we have a certain size of ESF that we are designing; we
17 have approximately 80,000 feet of opening underground here as
18 depicted in rough terms, and to ventilate that amount of
19 opening we require certain cubic feet per minute of
20 ventilation, that going down a specific size of an opening.
21 Now all intake is down that north ramp, all exhaust is up the
22 south ramp. So we have to accommodate the entire 400,000
23 CFM.

24 If we want to ventilate that amount of area, we
25 have to do it under the constraints currently given. If we

1 want to be flexible a little bit, if we want to live in
2 higher velocity winds, that is a trade-off. But, we have to
3 be safe.

4 DR. CORDING: I am sure we will get into more discussion
5 about that. But, I think isn't a lot of that ventilation
6 requirement related to a the number of machines you have
7 operating?

8 MR. STANLEY: It is related to the number of machines;
9 the number of people we have underground--

10 DR. CORDING: But in terms of some of the load, a lot of
11 it comes off the machines, operating the machines. And if
12 one is going into another approach where you say we can
13 reduce the number of machines, then that starts changing that
14 400,000 value. There is a lot of interrelated factors that
15 obviously they are going to be looked at.

16 MR. STANLEY: It can change that, certainly.

17 DR. CORDING: And I think in terms of if one is trying
18 to enlarge a drift like this, that certainly cutting the
19 bottom out is probably one of the easier ways of getting that
20 additional space, getting that corner.

21 The other point, I think is it may be, it seems to
22 me that there might be a possibility of having one ramp at
23 one diameter, coming from the surface now; one ramp say the
24 north ramp at one diameter; the south ramp at another, so
25 that you can accommodate your--one of the bullets you have

1 there is the equipment that you are trying to get down in or
2 having more access to do side drifting and things. Perhaps
3 more emphasis is going to be placed in one ramp than the
4 other. So, there might be some choices there as to two
5 different ramp sizes from the surface now, following pretty
6 much the same sort of approach that Don Deere was describing
7 for the two J tunnels. One might be larger than the other.

8 MR. STANLEY: That is correct. However, we are still
9 constrained by the smallest size we have on ventilation for
10 air velocity.

11 MR. GERTZ: But their concept or Don's concept would be
12 you never connect them, so if you never connect them you are
13 not worried about--in the early stages you don't connect
14 them.

15 DR. CORDING: You might connect them. But later on
16 again we go back to the point of how much ventilation do you
17 need and it goes back to the amount of equipment you assume
18 is operating simultaneously. I think when you are starting
19 and stopping machines underground, then you have to have them
20 all operating the same time, that of course increases the
21 requirement quite a bit, whereas at other times you are
22 really not using the capacity at all.

23 MR. GERTZ: No doubt about it. And perhaps the
24 ventilation, the study that is coming up next, maybe we can
25 talk more about that.

1 DR. CORDING: Well I am interested in hearing from
2 people that are experts in ventilation.

3 DR. DEERE: I have to mention, that just a couple of
4 weeks ago down in Mexico in a welded tuff, the ventilation
5 was getting a little bad as they were finishing two of the
6 caverns. So the contractor just moved over and in about
7 two weeks he had a brand new ventilation shaft with a raised
8 bore. It is just nothing.

9 MR. GERTZ: Just nothing.

10 MR. PETRIE: However, the NRC might not look on that
11 favorably.

12 DR. DEERE: Well it depends on which level you are
13 coming from, I think. You know, maybe if you are talking
14 about an upper level or a position, I understand their
15 concern.

16 MR. STANLEY: You are absolutely right. This is one of
17 the factors we all recognize that in a normal mining
18 environment, we need more air, we need something to move it
19 around quicker, easier; we can pull a raise; we can pull a
20 shaft. But, we are constrained by the graphical layout; we
21 are constrained by 10 CFR 60 requirements and 10 CFR
22 60.15(c), saying that we have to minimize a number of
23 openings underground. So, this is why we are trying to work
24 within our limitations.

25 Are there anymore comments or questions?

1 MR. MCFARLAND: I am puzzled, Ted, doesn't the SCP show
2 four openings into the repository if a repository has built
3 two shafts, two rims?

4 MR. PETRIE: Sure. Yes. But again there are specific
5 locations for those. And whether they would be appropriate
6 to decide in five minutes to put one here--

7 MR. STANLEY: No, we are not saying that.

8 MR. PETRIE: The message I got was, hey, let's throw in
9 another shaft. We don't just throw in another shaft on this
10 job.

11 MR. MCFARLAND: In this phase of design, if there is a
12 constraint at this point, you would say I have two options.
13 I can increase the size of my potential tunnel or I can
14 examine where those two shafts will be as previous studies
15 have shown and consider bringing in a shaft for ventilation
16 as part of the SCP.

17 MR. PETRIE: That's one of the alternatives one could
18 consider.

19 MR. GERTZ: In fact, as you are aware, we have one
20 optional shaft already being designed in this concept.

21 MR. MCFARLAND: Not for ventilation.

22 MR. GERTZ; No. But it certainly could turned into
23 that, it's big enough to.

24 MR. PETRIE: That alternate shaft may be used for many
25 things. It is considered an alternate in the event of

1 geological or testing needs. We in the engineering
2 organization are looking at it for other potential activities
3 as well.

4 DR. ALLEN: Do we have a question or comment from the
5 audience?

6 MR. FRIANT: I am Jim Friant. I've got a couple of
7 comments in the form of questions, I guess.

8 In a 16 foot tunnel at 400,000 SCFM, just a bald
9 tunnel is 22.6 miles per hour; in a 20 foot tunnel 14 1/2
10 miles per hour; and in a 25 foot tunnel, about 9 1/4 miles an
11 hour. Now, I haven't done ventilation studies for awhile,
12 but there are regulations both on, as you indicated the
13 velocity of air in a tunnel, but there is also regulations
14 on a tunnel with a conveyor in it because the conveyor
15 bounces, so you have to have slower velocity of air in a
16 tunnel when there is a conveyor. So, I just don't remember
17 those regulations anymore, it is has been too long, but both
18 need to be looked at. As anybody knows, that's been in an
19 22.5 mile an hour wind in a tunnel is an impossible thing to
20 deal with.

21 Second comment, once you get in about four miles,
22 we are going to supply this tunnel boring machine by a truck,
23 from what I see. About the most you could get to the tunnel
24 boring machine after you are in about four miles is about one
25 truck every half hour. And that doesn't count turn around

1 time outside if we are one way here. That is, I would say a
2 marginal amount of transportation to a tunnel borer. You
3 might need extra storage or something for bolts or something.

4 And then there was a comment about reaming out.
5 The Wirth Company in Germany has made two or three of these
6 reaming machines, but, it is necessary to use glass rock
7 bolts in order to be able to ream it back out. And taking
8 out steel rock bolts in a reaming situation, which I have
9 observed is extremely hazardous. So, I doubt whether you
10 are--since the glass bolts are like four to five times what
11 the steel bolts are, I doubt whether there would be much
12 savings in roof support.

13 Another comment that my friend, Dr. Ozdemir made, was if
14 you are going to put cut-outs every once in awhile, it is a
15 very simple thing. On your cross-section, shove the pipes
16 over to the other side under that conveyor and then you have
17 one side of the tunnel at least that is free to dig and
18 sample and observe and whatever else. It's a very simple
19 change on that.

20 DR. ALLEN: Thank you.

21 Any other comments? Why don't we take a 15 minute
22 break.

23 (Whereupon, a recess was had off the record.)

24 DR. DEERE: To reconvene the meeting, I would ask that
25 an interested observer, State Senator Tom Hickey has been

1 listening to the proceedings this morning and will continue.
2 I have asked if he has some comments. I believe that he
3 would.

4 Senator, if you could use the podium.

5 SENATOR HICKEY: Thank you.

6 Mr. Chairman, first of all I would like to
7 introduce Assemblyman Spriggs who is a part of our committee
8 on High Radioactive Nuclear Waste. Assemblyman Spriggs would
9 you please stand?

10 We have a subcommittee that has been in existence
11 about ten years. What we have tried to do is familiarize
12 ourselves with the technical issues. You are chairman over
13 all of your committee. We have sent a letter and asked if
14 with our involvement, and we've generally through our rules
15 we can't form subcommittees, but we have identified
16 legislators that will work with each of your subcommittees.
17 So, at those meetings we will have some legislator that will
18 be involved or have an understanding of what is going on in
19 this process as it goes through.

20 Our concern is a couple of concerns and as I talked
21 to you during your coffee break, one, I think Carl Gertz
22 articulated it very well, is the financing. We too are
23 feeling the pinch on reduction of funds and seeing this
24 planning. We were well aware that it meant a reduction in
25 the overall plan. It raises concerns, that reduction both

1 from perspective of the government and DOE and also our own
2 is an oversight, that as goals are set, that they are not
3 going to be met, or that oversight will not be proper in
4 overlooking the goals that are being set. Our problem lies
5 in the possibility of work not properly being done because of
6 the goals set. I know it is going to be said that that can't
7 happen. I work for a company that puts safety first.
8 However, they put safety first within the constraints of
9 financing. So, I leave that with you.

10 Second, and something that I feel is important has
11 been a thought that decisions will be made just through this
12 body. And I think it is indicative upon all of us to
13 recognize as we go through the process that NRC will be the
14 final judge. And, that involvement, it would be my intention
15 to move at least our committee closer to an involvement with
16 NRC. We have not taken an adverse position with DOE, this
17 committee, and our committee will not. In fact, when this
18 project originally was initiated, you are looking at one who
19 initiated the cooperation between the state and DOE. That
20 lasted not too many months, but it did initiate.

21 Last, but not least, your statements in dealing
22 with the size of this hole, I leave you this political
23 consideration. Statements made to the state up to now has
24 been that this is going to be a scientific study. I submit
25 to you that that is what it should be up until a final

1 decision has been made through scientific study. The message
2 you may send us if you start designing holes that will
3 receive the repository size, is a message telling us those
4 decisions have already been made. So, I leave that with you.

5 Thank you, Mr. Chairman.

6 DR. DEERE: Thank you, Senator.

7 We will continue then with the technical
8 presentation.

9 MR. STANLEY: The next presentation will deal with
10 Exploratory Studies Facility ramp gradient.

11 Ramp gradient is a topic of engineering discussion
12 that is a little bit different from the ramp size, in that as
13 I mentioned before ramp gradient is something that is very,
14 very difficult to change. In fact it cannot be changed once
15 it is in place. Another ramp may be excavated, but that same
16 ramp's gradient cannot be changed. So, significant design
17 consideration has to go into that thought process.

18 The objective and scope of this presentation is
19 just to merely report on the progress that we have to-date in
20 developing some of the information which can be used in the
21 selection of the proper ramp gradient.

22 The scope of the presentation is to describe the
23 existing conditions, as we see them right now which affect or
24 are affected by ramp grade; to briefly describe the
25 operational safety and schedule implications of some of the

1 grade options that we have to consider; and to number three,
2 to state preliminary conclusions which can be drawn from
3 examination of the information that we present here.

4 First of all, we would like to say that the ramp of
5 principle interest is the north access ramp because the south
6 access ramp is currently on a grade of 1.6% and that is of
7 little or no concern to anyone to-date. It is a railroad
8 grade; it is a normal drainage grade and it really presents
9 no problem at all.

10 The second item that we want to mention is the
11 braking performance that is shown here is the minimum
12 prescribed by SAE standards. These values have been field
13 tested.

14 The maximum rail grade recommended for any ramp
15 service by the American Railroad Engineering Association is
16 2.5%; that ramp grade has permanent ramifications, and
17 therefore, the ESF and repository functions should both be
18 considered. And here is where we have to address future use
19 considerations.

20 I want to go over a little bit of the existing
21 conditions and the latest general arrangements. And I think
22 once again it would be very helpful to put this configuration
23 back on the board and to point out that at this time we are
24 talking about the north ramp gradient in this location right
25 here (indicating).

1 Some of the applicable requirements which we have
2 are our ESFDR requirements. This is the Exploratory Studies
3 Facility Design Requirements that the ramp and roadway shall
4 be designed to provide an acceptable slope which is suitable
5 for excavations, for safe vehicle traffic and material
6 handling equipment requirements.

7 Out of the repository design requirements, which we
8 must consider at this time because this is an opening that
9 may be used for future use, we have to consider that some of
10 the constraints stated are that the ramp slope shall not
11 exceed 10 percent and that the ramp entry point of the
12 repository, the potential repository area, which I am talking
13 about approximately right here (indicating), will consider
14 the overall design of the potential repository lay-out to
15 provide the optimum travel route.

16 In discussing some of the grade implications we
17 have received a number of comments in our management and
18 technical reviews. These can be consolidated in three
19 primary areas. The first being to explore the possibility of
20 rail haulage which requires flatter grade. The second to be,
21 the minimization of the grade is always desirable. The
22 third, is to examine the safety aspects of the ramp grade.
23 And I have to emphasize again here that safety is a primary
24 concern.

25 Currently our layout in the subsurface, and this is

1 a very difficult viewgraph to see on the board, but you can
2 refer to your handout, is that the north ramp declines at an
3 approximate angle of 9.57 percent. The Calico Hills ramps
4 are at 10 percent and the south ramp is at 1.6 percent grade.

5 When considering what grades are appropriate and
6 inappropriate, we considered also what would be the potential
7 grades going across the proposed or potential repository
8 block as currently known for a repository configuration.
9 Well, at the current geologic elevations, we can see that
10 maximum grades in some of the emplacement drifts go up to 7.5
11 percent. This means that an emplacement transporter would
12 have to negotiate 7.5 percent.

13 Some of our recent information at re-examing the
14 geologic core has raised the entry elevation from 3100 feet,
15 that entry elevation being right at this point here
16 (indicating), to as much as 3240 feet. Now, what would that
17 do to the grades within this area of interest?

18 Now instead of 7.5 percent we deal with a maximum
19 of 4 percent on the emplacement drift, but still the long
20 north/south main as we have known it, exists at 4.5 percent.
21 Still this is not railroad grade.

22 But, what are we talking about? We are talking
23 about future transporters, ideas, concepts. The transporter
24 as anyone knows it to date, looks something of this nature.
25 It is a rubber-tired vehicle. And the main area of concern

1 when looking at that transporter is the braking system. How
2 fast can something like this stop?

3 Well as it is known to-date, this transporter has
4 three sets of brakes. First the normal set of brakes, which
5 can stop this vehicle fully loaded traveling at 5 miles an
6 hour down a 10 percent grade to a complete stop within a
7 distance of 20 feet. It has a series of parking and holding
8 brakes which is capable of holding this vehicle on a slope of
9 25 percent. And it has a system for emergency braking which
10 will allow the vehicle to be stopped traveling at 10 miles
11 an hour traveling down that same 10 percent grade within 30
12 feet. So it has basically three different systems of
13 braking.

14 Under consideration also is traction power
15 requirements on various grades and how they react, whether we
16 pave the surface, whether we use a crushed material surface.
17 And these are all engineering aspects.

18 As we can see here, on a paved surface, any ramp
19 roadway, you would still require some power to the wheels up
20 until a negative 3 percent grade. And you can see how this
21 power requirement compares to a tuff surface for a roadway in
22 that you would need more power to propel that vehicle. Well
23 the same translates to how a vehicle would perform in a
24 stopping mode.

25 This is a very interesting graph. This is a graph

1 of stopping distances, designed stopping distances versus
2 vehicle speed for a 200,000 gross vehicle weight load on a
3 tuff roadway. This was calculated using SAE performance
4 recommended calculations. The thing I want to point out here
5 is let's take an example. Currently as I mentioned the north
6 ramp is at 9.5 percent. What would be the tradeoff between
7 taking that ramp from 9.5 percent down to a 5 percent, for
8 example? Traveling at a speed of 10 miles an hour, the
9 stopping distance--on a 9.5 percent ramp on tuff for 200,000
10 GVW load is approximately 36 or 37 feet it would take to
11 stop. Now if you take that same vehicle on a 5 percent ramp
12 it would require approximately 24 feet to stop. The tradeoff
13 we have here is 13 feet. That is what we are buying in
14 stopping performance; we are buying 13 feet of stopping
15 distance for a great deal of distance in excavation. What is
16 that distance?

17 If you go to the next graph, we can see some of the
18 calculated distances that we are dealing with. For example,
19 the 9.5 percent ramp requires approximately 6,000 feet in
20 general terms, you can read that on your handout also, of
21 excavated ramp. To take that down to 5 percent grade, we
22 have to increase the length of that ramp to 10,000 feet or
23 more. Now we are still not at railroad grade. If we are to
24 take that grade to railroad grade at 2.5 percent, we start
25 dealing in the neighborhood of 25,000 feet of distance.

1 Also, you can see the implications it would take on
2 schedule, the number of days necessary to excavate; the
3 longer the ramp, the longer the time it takes to excavate.
4 The shape of that curve changes just because of the
5 logistics.

6 Now what would some of these ramps look like if we
7 changed the grade? Here is a picture of a typical north ramp
8 layout. You can see how it is configured currently with this
9 straight configuration going in to a 600 foot radius curve.
10 This straight configuration is the 9.5 percent grade at the
11 3100 feet, which we have chosen currently in our system for
12 the elevation of entry.

13 If we wanted to change that to a 5 percent grade,
14 we could play some games, such as swinging this ramp out in
15 an S curve. This is not the configuration, understand, but
16 this is an example of what we can do with swinging ramps out.
17 We could swing it to the south; we could come in this
18 direction; we can accommodate various different layouts.

19 If the elevation of entry into the proposed
20 repository area were to change to the 3240 foot elevation,
21 the implications wouldn't be quite so severe. Here we have
22 the current ramp again, and here we have another alternative
23 ramp at 5 percent grade. So instead of taking a look at this
24 S curve swinging out and around with a compound curve
25 scenario, we can go relatively straight and come in with a

1 1000 foot radius curve to establish a straight approach into
2 the area of interest block.

3 Where we are today, we have made some preliminary
4 conclusions, those being that the existing conditions, the
5 proposed repository grades would necessitate the use of
6 rubber-tired vehicles for the final emplacement of waste
7 canisters and other activities. Rail haulage could be
8 utilized in the access ramps if we consider some other
9 configurations.

10 However, a reduction in the ramp grade from an
11 approximate 10 percent that we have now to a rail grade of
12 2.5 percent would result in a ramp length increase from
13 approximately 6,000 feet to 25,000 feet. That is a
14 significant increase. It also impacts significantly on
15 schedule.

16 I should also mention that this 2.5 percent which
17 is mentioned in the presentation, is a result of railroad
18 engineering. Now it has been demonstrated that 3.5 percent
19 grades have been successfully used for many, many years under
20 very heavy rail haulage conditions in mining environments.
21 So we do have some flexibility.

22 The last preliminary conclusion is that operating
23 speed is more important for controlling vehicle stopping
24 distances than is operating gradient, we feel. The heavy
25 vehicle traveling at 10 miles per hour on a 5 percent down

1 grade will require only 14 feet less stopping distance than
2 the same vehicle traveling at 10 miles per hour on a 10
3 percent grade.

4 Now these are all design considerations; these are
5 the things that we have to take into consideration. We have
6 a world of flexibility, but we can also see from what we have
7 so far the implications of attempting to go to a rail grade
8 or attempting to go to a slightly more favorable grade and
9 what the tradeoff is here.

10 Thank you. Are there any questions?

11 DR. CORDING: Bruce, could you describe what the
12 consideration of flipping the waste ramp to the south end
13 would do? Is that part of what has been discussed informally
14 at this point?

15 MR. STANLEY: Yes, sir. It has been discussed
16 informally, and it has been targeted as a definite tradeoff
17 study for Title II. In order to establish a ramp gradient
18 for the north, a function has to be established for that
19 ramp, and a function for the south has to be established
20 also.

21 It would seem that it would be perfectly reasonable
22 to switch those functions for waste transport from the north
23 ramp to the south ramp in light of the fact that we already
24 have such a favorable grade on that south ramp. That also
25 impacts many different things. It impacts the underground

1 configuration, of course, but it impacts the scenario of
2 timing. This is a subject of consideration for a repository
3 thought, rather than ESF thought, of course at this time.
4 But, there again, this is an area which we much consider this
5 implication. We cannot put on blinders on this area.

6 DR. CORDING: You've talked about a 25 foot size for the
7 waste ramp; is the tuff ramp size, has that been studied and
8 what sort of ranges does one have in that?

9 MR. STANLEY: If we were to consider the ramp function
10 as only for removing broken tuff material, it would seem to
11 stand to reason that that could be different from 25 feet.

12 However, we do want to build in the amount of
13 flexibility that we need. We also want to consider very
14 importantly, here again, the ventilation aspects of what goes
15 in has to go out under the same conditions.

16 In a potential repository environment, we will have
17 other openings which can be made available for ventilation
18 purposes and that will change the entire picture. So, what
19 we are designing to now is the Exploratory Studies Facilities
20 as much as possible.

21 DR. CORDING: Thank you.

22 DR. ALLEN: Other questions?

23 MR. MCFARLAND: I have a question out of curiosity.
24 Your analysis show that you are assuming a 50 foot per day
25 excavation rate. I am puzzled. At the International

1 Conference here in Las Vegas last summer, there were two
2 papers presented; one by Joe Sperry and extrapolating from
3 the River Mountain tunnel through the tuff out here over
4 towards the Colorado River. He said his feeling was that
5 from a construction estimating standpoint, conservatively, he
6 would see 100 to 110 foot per day, 8 hour shift. Levent
7 Ozdemir, I believe, in his studies indicated something in the
8 order of 100 to 120 foot per day. I am curious how you came
9 up with a 50 foot per day advance rate?

10 MR. STANLEY: The 50 foot advance rate as an input to
11 the alternative study program. Without knowing any of the
12 material which you just mentioned, it was anticipated that we
13 would be better off if we were conservative. So, we would
14 rather err on the conservative side. A study had been done
15 to indicate some of the construction implications and
16 limitations which we have at the test site and the conditions
17 under which we work. So, based on that, we wanted to merely
18 select one advance rate and then compare that advance rate
19 with the other ramping scenarios in that alternative studies
20 in order to come up with the one we select. In other words,
21 we wanted to do the comparison on a very fair and equal
22 basis, so the advance rate will probably change. Does that
23 answer your question?

24 MR. MCFARLAND: Very conservative.

25 DR. CORDING: I think one of the other factors affecting

1 is even after one is mobilized and the TBM tunneling has
2 actually started, you have a period usually for a month where
3 rates are much slower, so when you look at short tunnels, the
4 overall rate is slower than for the longer tunnel, because
5 you have had a chance to go through that learning curve.

6 When you are going through four or five learning curves, you
7 are obviously spending more time and going at slower rates.

8 DR. ALLEN: Other questions?

9 MR. GERTZ: Clarence, excuse me. I have one question, I
10 guess collectively from my team and maybe from the experts at
11 the table, a 10 percent ramp does not affect TBM excavation,
12 it is an acceptable decline for TBM excavation?

13 DR. CORDING: A 10 percent ramp can be mined with a TBM.
14 The rates are affected by slopes.

15 MR. GERTZ: But, by certainly within the state of the
16 art excavating techniques for TBMs to do a 10 percent.

17 DR. CORDING: Yes.

18 MR. GERTZ: Based on your experience and what you've
19 seen.

20 DR. ALLEN: We have a comment or a question from the
21 audience.

22 MR. THOMPSON: My name is Jim Thompson. I am a
23 consultant to the State of Nevada.

24 We previously discussed I think, a couple of months
25 ago, and I entered into a pretty good discussion with you all

1 at the time pertaining to these ramp grades, and I am pleased
2 to see this in respect to this trade-off so to speak of the
3 various grades versus the linear footage of drilling and
4 associated costs that are with that. One comment is that the
5 issue here is not purely braking distance, and that I think
6 it is safe to say that it is a given that it is more
7 convenient and overall from a safety standpoint to work on a
8 flatter grade than it is a steeper grade. So, if you can get
9 one at 5 percent versus 10 percent, that is simply preferred
10 if it is within cost constraints and your time constraints as
11 well.

12 The two configurations you had in terms of these 5
13 percent grades, well I agree that the 2.5 percent for rail,
14 you would have to come up with some pretty erroneous layouts
15 to achieve that in terms of distance. Yet, the 5 percent
16 grade layouts that you have here seem to be pretty reasonable
17 design schemes. Yet, in your preliminary conclusions I
18 didn't see whether they were discussed as being considered
19 further or whether you have abandoned that and stuck with the
20 10 percent, because frankly I like the 5 percent grades.
21 They seem to be a pretty good design there in getting down
22 there safely and the impacts overall in terms of the total
23 linear footage. It doesn't seem to be that extreme.

24 MR. STANLEY: You have a very good point.

25 The ability to change the configuration, this is

1 the best viewgraph to which to speak, when this elevation
2 raises from 3100 feet to 3240 feet, the gradient of this ramp
3 now also changes to 6.7 percent. So no longer are we dealing
4 with a 9.5 percent ramp, we are dealing with a 6.7. So we
5 gain some advantage there.

6 The difference between this configuration and that
7 configuration to achieve a 5 percent grade is, as you say,
8 not that visually significant. And, it can be argued that it
9 is not that economically significant. Taking other factors
10 into consideration, other factors, a trade-off study will
11 have to be made to determine exactly what we settle upon.

12 DR. ALLEN: Other comments?

13 MR. MCFARLAND: One thought, not knowing what the rail
14 would be used for, I assume we were talking hauling waste,
15 your AREA limitations of 2.5 are locomotive pulled; not all
16 axle driven locomotive?

17 MR. STANLEY: I'm sorry?

18 MR. MCFARLAND: Your AREA limitation of 2.5 percent
19 maximum is a locomotive pulled vehicle, not an axle driven
20 vehicle. Metros are all axle driven and 5 percent exists in
21 the New York transit system, in Buffalo and in Chicago.
22 There is a big difference between a locomotive hauled vehicle
23 and an axle driven vehicle, again another variable in the
24 trade.

25 MR. STANLEY: Absolutely. You are correct.

1 The 2.5 percent is a recommended maximum by the
2 Railroad Association for rail haulage.

3 MR. MCFARLAND: Locomotive hauled?

4 MR. STANLEY: Locomotive haulage.

5 MR. MCFARLAND: Yes.

6 MR. STANLEY: And the other example to which I alluded
7 is the Henderson Mine in Colorado which hauls up a 3.5
8 percent grade over 9.5 miles of gradient with twelve, 22 ton
9 cars in one train scenario with a locomotive in the front,
10 one in the middle, and one at the rear and has been doing it
11 for the last 15 years.

12 DR. DEERE: I am wondering if maybe Jim Friant would
13 have some comments about the tunnel boring machine at a minus
14 5 percent, versus 10 percent, versus 2 percent? Any
15 comments?

16 MR. FRIANT: I think that it could be proven, I don't
17 have the data sticking in my head, but certainly the steeper
18 the grade, the slower the TBM will advance. There have been
19 a number of TBMs going down a 17 percent slope, because, this
20 seems to be the magic number for conveyors in various
21 applications. I'd hesitate to put an exact number on it, but
22 down slopes--the other thing that bothers me is most of the
23 time you are working with something that is wet, and here it
24 is going to be dry. Now even a small down slope of 2 percent
25 where there is water involved does slow you down. But, here

1 where it is dry and with a conveyor backup system, I don't
2 think 2, 3, 4 percent in that range would slow you down much.
3 Get beyond that, my instinct is that it would probably begin
4 to slow you down.

5 The other thing that bothers me, as I mentioned in
6 my other comments is the supply of the TBM and you are
7 talking about this waste container, but that is a minor use
8 of this road frankly, in this whole scheme of things.
9 Getting people in and out and test equipment and supplying
10 the machine, now we are talking about vehicles that are going
11 to tool along at 15 and 20 miles an hour, and on crushed 22
12 percent silicone rock, some of those need to be entered into
13 the trade study as well.

14 DR. DEERE: Thank you very much for those comments.

15 I wonder if any of the MK support team would have
16 some comments about the driving down slope? We are trying to
17 take advantage of all the expertise that we have available
18 here in the hall today.

19 MR. ALLAN: Thank you, Dr. Deere. I am Jim Allan with
20 Morrison-Knudsen, construction manager for the ESF.

21 I don't have any extensive comments other than
22 perhaps to say I would not be really all that concerned about
23 the support activity to the machines in that the proposed
24 scheme has a conveyor disposal system for the rock material
25 itself. Basically, you are just talking support which would

1 be primarily ventilation line, your utility piping and
2 incidentals. I don't see that to be a restraint. I am sure
3 that we have to assume that the production rate would be
4 effected at those percentages. But, I don't think enough
5 information is available at this time to evaluate those.
6 But, it has been done and I don't think that this material
7 appears to be favorable from a drilling point of view, and I
8 don't think it would be a prohibitive factor.

9 DR. DEERE: Thank you very much, Jim, for those
10 comments.

11 Are there other comments from the audience on this
12 particular topic?

13 DR. ALLEN: Okay. Ted, let's move ahead then.

14 MR. PETRIE: All right.

15 Our next speaker is Mr. Jurani.

16 MR. JURANI: I'm Romeo Jurani. I'm Senior Mining
17 Engineer of Raytheon Services Nevada, and I will talk about
18 the preliminary ventilation analysis of the ESF.

19 First, we have objectives and requirements for the
20 ventilation. There are several citations about ventilation
21 requirements, but we consider these two as the highlight:
22 "Provide a ventilation system to supply ventilation air to
23 and exhaust ventilation from the subsurface workings to meet
24 the needs of construction and operation of the underground
25 site characterization and testing program."

1 Another requirement: "The ventilation system shall
2 supply and exhaust adequate quantities of air to and from
3 underground working areas such that operators' safety,
4 health, and productivity requirements are maintained.

5 Reviewing the construction sequence of the ESF, as
6 discussed previously, we have a development and
7 characterization sequence wherein we would go in a scenario
8 wherein we had to advance the south ramp and the north ramp,
9 and then later on, the south ramp will be independent. The
10 north ramp will be independent, also. So the south ramp will
11 be advanced later on into four headings, with the TS south
12 heading and one lateral--I will show a picture about this
13 whole scheme later on--the south system will proceed to the
14 south Calico Hills level with one lateral. That makes four
15 headings.

16 The north ramp, which is independent, as I said,
17 will be advanced with one lateral and continue to the Calico
18 with another lateral. Later on, this will be connected for
19 the flow-through ventilation to support the ESF multiple
20 activities.

21 To show a picture of the early construction, we
22 have the south ramp here, and the north ramp. What we intend
23 to do as far as ventilation is, as we drive this ramp, we'll
24 install a fan, exhausting from a tube that will be following
25 the advancing phase of the tunnel boring machine. So when we

1 run that fan, it will suck the air from the tube, forcing the
2 air to go into the face and out in the tube.

3 The north ramp will be the same. We'll install
4 that fan there, tube, exhausting mode; when that fan is
5 running, air is forced down into the face and out.

6 As we continue, the south ramp goes down. It
7 branches to the Calico Hills, and we also continue at this
8 level. Now, the eight headings I was talking about, there
9 are really four headings in this system here, and four
10 headings in this system here. So we shall say now that while
11 we are driving these around, we have the heading to
12 connection. We can also support, in terms of ventilation, a
13 lateral drift that could be occurring anywhere along the
14 drift.

15 In the same scenario into the south ramp, we can
16 support the heading of the ground, plus another lateral drift
17 that could be occurring in the south ramp. So there are four
18 here and four here, making it eight.

19 Now, how much air do we need to ventilate this
20 construction activity? There are a few tricks to calculate
21 ventilation, but the best thing to have is the experience of
22 the industry. We run into the survey of the mining industry
23 practices and the ventilation of the face is somewhere in the
24 range of 100 to 150 feet per minute. We look at, also, the
25 ventilation expert recommendation, and their face velocity

1 recommendation is between 100 to 400 feet per minute.

2 Our recommendation will be somewhere in this area
3 here, which is on the higher side, 140 to 150 feet per
4 minute, and this velocity is above the California and MSHA
5 Code minimum requirement. Now, going back to this number
6 here, the high side is because--or this is for hot mines. If
7 the mine is hot, you have to use a higher velocity. These
8 are for normal mines where the air is, the temperature is
9 normal, below 90°.

10 Now, allowing leakage factor, the recommended
11 equivalent ESF design velocity range will be something like
12 165 to 176 feet per minute. This is just adding the 15 per
13 cent into this number here, 140 to 150.

14 Transforming that, or calculating it for the
15 requirement, since we have a 25 feet diameter ramp advancing
16 at 167 feet per minute times 491 per sectional area of the 25
17 feet diameter does clear. There might be some obstructions
18 here, but for purposes of conceptual design, we will have to
19 assume that this is clear. The total volume for that
20 advancing 25 feet diameter ramp, will need about 82,000 cubic
21 feet per minute.

22 The lateral drift that will be in this ramp drive
23 will be driven in an assumed 20 x 12 feet cross-section, and
24 multiply that 167 by 240, it will require 40,000 CFM, so
25 that's the TS from our main TS level.

1 Now, the ramps going to the Calico ramp, which is
2 an 18 feet diameter, has a cross-sectional area of 254 square
3 feet multiplied by 167, will give you 42,500. Now, the
4 lateral drift that will be in the Calico Hills, be driven in
5 the cross-sectional dimension of about 16 x 9, requiring
6 about 24,000. If you sum this up, that main tube that will
7 be supporting both--all these headings, will be something
8 like about 188,500 cubic feet per minute.

9 Now, what we intend to do, as I mentioned earlier,
10 we'll be installing the fan at the portal, and the tubes
11 following the tunnel boring machine. It branches into the
12 Calico Hills and the other goes to the Topopah Spring main
13 level, and these are just the lateral drifts that we probably
14 will support, you know, if we need to have.

15 Talking about dust control, if this is the tunnel
16 boring machine, probably we'll have to specify the tunnel
17 boring machine with a built-in fan so that the air that is
18 going to the face will be forced to go to the face, take all
19 the dust, take it out and into this dust collection system
20 here into the main exhausting tube.

21 Another scenario, if we have to drill and blast a
22 cutout, the dust control system there will be relatively the
23 same. We have an extendable tube going to the face and the
24 air is allowed to go to the face and out into the exhausting
25 tube, into a dust collector, and into the main exhausting

1 tube.

2 The tube that will be installed in the main ramp is
3 about 72 inches in this particular study and we run through
4 our computer model with this system and this is about the
5 horsepower requirement. For the north ramp, it's about
6 7,000. For the south ramp, it's about 8,800, or a total of
7 15,870.

8 Now, we played with the computer and see what, if
9 we will increase this tube to something like 84 inches, and
10 with 60 per cent motor efficiency, this will be reduced to,
11 for the north ramp, 3,200 horsepower; south ramp, 3,980, for
12 a total of 7,180 brake horsepower.

13 Now we go into the operation phase. We assume that
14 the face level or the Calico Hills level is connected. This
15 is the -- now, the discussion why the size of the ramp is 25
16 feet.

17 We looked at all the activities of the ESF and
18 broke it down by item. If we are to support all the drifts
19 that are to be opened, or to be tested in the ESF, we have
20 the TS imbricate, which is 20 x 12. It will require 40,000
21 CFM. The Topopah Spring west drift will require the same
22 amount because it's in the same position; 40,000. The TS
23 east drift, 40,000, and then a package for the TS main test
24 area is 130,000. The mechanics shop is 35,000, for a total
25 of about 285,000 CFM.

1 The Calico Hills level, the CH imbricate drift,
2 which is 16 x 9, will require about 25,000 CFM. The Calico
3 Hills west Ghost Dance will require 25,000. The Calico Hills
4 east Ghost Dance, 25,000; Solitario drift, 25,000; and the
5 Calico mechanics shop 15,000, for a total of 115,000, and if
6 you add the 115,000 to the 285,000 of the Topopah Spring
7 level, then you will have a 400,000 CFM requirement. I mean,
8 this is basic requirement. That means we have not done any
9 optimization or recycling or reusing the air. We are just
10 assuming that everything is in operation and we are
11 supporting them independently.

12 Now, ventilation, as you know, in the actual --, a
13 game of recycling, recirculation, and reusing the air, we did
14 not do that because we do not intend to start off starving
15 ourselves with air. We just say, okay, we need it basically.
16 This is what we need right now. This is what we will do.
17 But later on, when we optimize, we can talk about that, you
18 know, in another study, the sequencing of these drifts so
19 that we can use the discharge of one drift to be used at the
20 next drift, on to the next drift, which is acceptable, but we
21 would not like to start it that way. So for now we'll have
22 to have that 400,000 CFM.

23 The next thing that we did was to determine which
24 one would be our return or fresh airways. We know we have
25 only two ramps, the south and the north. One has to be in,

1 and one has to be out. We favored the TS ramp strategic
2 location as intake airway because the portal of the north
3 ramp is near buildings and near support facilities. We will
4 have more testing at the TS north ramp. Repository interface
5 intake airway.

6 We favored the south ramp as the exhaust because
7 towards the end, or towards the latter part of the
8 construction phase, the conveyor will be running there and
9 there will be some dust problems in that area, and so an
10 exhaust will be more preferable for that particular ramp. So
11 the recommendation will be to have the north ramp as intake,
12 the south ramp as the exhaust.

13 Location of primary surface fan. We know that we
14 have to install this primary surface--the fan in the surface,
15 but shall we install it in the north portal, or shall we
16 install it in the south portal? We look at the favorable
17 features of a fan location in the south portal in exhausting
18 mode, and these are the advantages: Less presence of support
19 facilities, because we have our concentration in the north
20 portal; less impactive fan noise and exhaust air; less
21 traffic, less airlock disturbance--I will show later on this
22 airlock. We have to install this in order to get the flow-
23 through ventilation going--the exhaust fan advantage in a
24 vertical discharge; facilitates initial repository
25 construction. So the recommendation is for the fan to be

1 located in the south portal in exhausting mode.

2 Knowing what we have so far, this is the plan view
3 of the ESF. This is the north portal, this is the south
4 portal. We installed the fan in the south portal. We
5 installed this airlock here, so that when this fan is
6 running, it will be sucking the air coming from here instead
7 of coming from the surface, so we have an airlock there. As
8 we run this fan, it will force the air to go in the general
9 direction this way.

10 Now, also, the -- going to Calico Hills--which is
11 this part here--force the air to go in this direction and out
12 into the south portal. The advantage of an exhausting fan,
13 vertical discharge, is what I was saying is when you put this
14 fan, we can discharge this air vertically so that you can use
15 a lot of this surface for other stuff. The discharge, if you
16 are going to discharge that air horizontally, will affect a
17 considerable area.

18 This is just a more detailed ventilation on the
19 main test area. The 285,000 CFM is coming this way, and in
20 order to ventilate the main test area, we put an auxiliary
21 fan in here, forcing the air to come this way, flushing this
22 air in this direction and out into the ramp or into the main
23 level drift.

24 Okay. We ran a computer model of this flow-through
25 ventilation, which is the 400,000 CFM. The motor that will

1 be installed for the primary fan is about 700 brake
2 horsepower. The fan output is 420,000 CFM. This includes
3 about 20,000 portal leakages, which is the airlock I was
4 talking about, and also the structural--the structures of the
5 fan in the exhaust side. The pressure of the fan is about
6 seven inches water gage, and there will be one identical fan
7 installed as a backup.

8 The issue on air cooling. Our intention, as
9 required, is to maintain a temperature underground of about
10 82° wet bulb. This is equivalent to about 260 watts per
11 square meter of air cooling power. This is the magic number
12 so that heat stress can be minimized if a person is working
13 very hard underground.

14 Now, the mining industry experience is that
15 mechanical cooling is needed when virgin rock temperature is
16 greater than 105°, because it's the heat load of the rock
17 that is increasing the temperature, to make it uncomfortable.
18 Our ESF virgin rock temperature is between 75-78°, going all
19 the way to the Calico Hills, and so our preliminary
20 conclusion is that we do not need mechanical cooling, per se,
21 as a general recommendation, but it doesn't mean that we are
22 absolutely going to not need mechanical cooling for areas
23 wherein tests are conducted and they are meeting a lot of
24 heat. We have to look at that case on a case-to-case basis.

25 Heating of the intake air. Heating of intake air

1 during winter has two objectives: prevents icing of the
2 north portal and few feet inside; minimizes potential
3 sickness of personnel going through cold air. And we look at
4 the mining industry general practice, same ramp situation.
5 These are ramps. This is not a shop. No heating; personnel
6 wear winter clothing; and chip ice manually when needed.
7 Pending study: Establish the ESF winter intake air hazards.
8 Now, if later on we justify that we really need a heater in
9 the north portal, then that would be about 5300 kilowatts to
10 heat 400,000 CFM from 5° to 42°. This is just to pass the
11 freezing point.

12 Then the issue of dust. The mineral content of the
13 rocks are definitely established to have some silica and some
14 other deleterious minerals, so that dust will become a
15 problem if we would not control. So we have envisioned
16 stationary and mobile dust collection units for all those
17 problems that we will have encountered.

18 For mobile units, we will have a feature that will
19 go with the mining activity for the TBM operation, drilling,
20 bolting, after blasting, mucking, and we have looked at one
21 unit which is mine-proven. It's commercially available.
22 It's MSHA tested. The report number is in here. It's a
23 five-stage dust removal without using water, and disposal.
24 Collection efficiency, it can go 99 per cent for particles
25 greater than three microns; 96 per cent for particles down to

1 one micron, and particles tested to about 0.79U. The air
2 quantity processed for this particular unit can go as much as
3 10,000 to 15,000 CFM.

4 We still have other studies to be conducted:
5 Ventilation life safety and monitor, evacuation and emergency
6 ventilation (various scenarios). We'd like to do some
7 scenarios where we will have some fire in some places
8 underground, and we would look at what type of emergency
9 ventilation to implement. We have to document that. Then we
10 will have monitoring of gases and particulates.

11 Underground environmental climate: Prediction of
12 underground temperatures, given heat loads of equipment and
13 testing activities. Dust control strategy and fan noise.

14 When studies are needed, these apply to all phases
15 of ESF construction and operation, and they will be conducted
16 before and concurrent with Title II activities as data
17 becomes available.

18 That ends my presentation, and I am ready to
19 entertain questions.

20 DR. ALLEN: Any questions?

21 (No audible response.)

22 DR. ALLEN: How about any questions or comments from the
23 audience?

24 MR. MOUSSET-JONES: Yes. My name's Pierre Mousset
25 Jones. I'm at Univ. of Nevada, Reno, McKay School of Mines.

1 I have some questions, Romeo. I'll go through them. I've
2 got about six questions.

3 The first one is: You used a 15 per cent leakage
4 factor for the exhaust ducts. How did you arrive at that
5 number?

6 MR. JURANI: Fifteen per cent leakage?

7 MR. MOUSSET-JONES: Yes.

8 MR. JURANI: It's a common mining industry--the range in
9 the industry, if you have to look at the textbook, is between
10 15 to 50 per cent for design purposes. I would assume that
11 we would be doing a very good job and use that 15 per cent.
12 We could be easily going into 20-25 if we do not do a decent
13 job in controlling that leakage, so 15 per cent is the number
14 we used.

15 MR. MOUSSET-JONES: Fine. As you realize, with exhaust
16 ventilation, you're going to get dead areas at the face in
17 terms of clearing out dust. Have you considered using
18 diffusers to direct air flow to dead areas so that you do
19 clear the dust away into the exhaust system?

20 MR. JURANI: Yeah, definitely. We will use some
21 diffusers.

22 MR. MOUSSET-JONES: So these will be additional fans
23 needed with the diffusers?

24 MR. JURANI: Yes. Those are auxiliary system, which we
25 did not address in this study because we are just

1 concentrating on the primary system and how it looks.

2 MR. MOUSSET-JONES: I see.

3 You did refer to the possibility of using
4 recirculation. This can be used, and I think this system is
5 open to the use of recirculation to cut back the need for
6 400,000 CFM in the main ramps. Do you view this as a strong
7 possibility that could occur with this ventilation system?

8 MR. JURANI: Yeah. Right now we would like to stick to
9 what we have so that we would not be, as I said, be starving
10 later on, because going into optimization and putting
11 recirculation as part of our design, we are actually going
12 into something that we do not know. For all we know, there
13 will be more testing activities to be done, and this drift
14 that we are showing here may not be enough, there will be
15 some more, so our flexibility to expand--usually to expand,
16 not to reduce--are going to be considered in the system so
17 that the 400,000 requirement is what we would like to stick
18 for now.

19 MR. MOUSSET-JONES: You refer to a computer program to
20 do some simulation of your ventilation duct systems, and I
21 was wondering, you know, to do it properly--and I presume you
22 did a lot of this--that you took account of all the leakage
23 paths that occur. Was that built into the simulation system,
24 and have you tried scenarios with different leakage factors,
25 and how that's going to affect your total ventilation

1 requirements?

2 MR. JURANI: Yeah. We--I mean, I did that, different
3 scenarios. I tried 15 per cent, 20 per cent, 25 per cent,
4 but in this report here I just used about 15 per cent.

5 MR. MOUSSET-JONES: Okay. When you go up to 25 per
6 cent, say, leakage, what affect does that have on total flow
7 requirements?

8 MR. JURANI: Well, the face velocity will be reduced to
9 lesser than what we recommend, and we will have to do a
10 better job of jacking it up, I think, to about 15 per cent.

11 MR. MOUSSET-JONES: Okay. Where the conveyor belt--you
12 have the airlock up near the exhaust system and you have a
13 conveyor belt going through that airlock, if I understand
14 correctly. That's a difficult thing to seal off from
15 leakage. You've got 20,000 CFM estimated leakage. That's
16 the place where you have the most pressure difference. Do
17 you feel 20,000 is adequate?

18 MR. JURANI: If I could show you a data of that,
19 actually, the conveyor is enclosed in a tube going into a
20 building, and the building is enclosed, so as far as conveyor
21 leakage, it's very minimal. The airlock is built around the
22 tube where the conveyor is housed inside.

23 MR. MOUSSET-JONES: And my final question is: You've
24 mentioned that it doesn't look as if there's going to be need
25 of any extra cooling. Does that apply, also, to the heat

1 from the tunnel boring machines? In other words, when the
2 tunnel bore is in full action, will they be generating
3 sufficient heat to cause the environment to be above 82
4 Fahrenheit?

5 MR. JURANI: Well, for now, it appears that way. We
6 have not gone into the details of the calculation yet, but
7 for now, since the virgin rock temperature is 75°, that's way
8 below the 82° wet bulb--that's wet bulb, not dry bulb. So
9 the heat capacity of the rock with time will become better,
10 and so that--whatever horsepower we will have in the tunnel
11 boring machine should be dissipated and absorbed by the rock.

12 MR. MOUSSET-JONES: Thank you very much.

13 DR. ALLEN: Other comments or questions?

14 DR. OZDEMIR: Levant Ozdemir, Colorado School of Mines.

15 I'm a little surprised with this 80,000 CFM
16 requirement at the machine. I have not seen a tunnel boring
17 machine that has used more than about 40,000 CFM. I'm just
18 wondering, these velocities you use, minimum requirements,
19 are these for a gassy mine, a coal mine?

20 MR. JURANI: This is just a standard mine. We took this
21 from the Survey and you can read that in "Ventilation and Air
22 Conditioning," by Hartman, Mutmanski, and Wong. They
23 surveyed the different mines and they are comparable with
24 what the, say, 100,000 to 150,000. Now, I know that there
25 are less velocities or less volume there in the actual

1 properties, and that's what Dr. Don Deere said. You may have
2 to work, I mean, with another shift to boost your
3 ventilation, but we are just putting here a system wherein we
4 are comfortable and it's generally an acceptable practice.

5 DR. OZDEMIR: And the other question I have, you know,
6 quite a bit of the dust in TBM operations is generated in
7 just the material falling at the, you know, conveyor transfer
8 points, and the other thing you have here which worries me a
9 little bit, all these trucks running on that tuff material
10 which you're going to use as the road base. Did you consider
11 that in your calculations?

12 MR. JURANI: There will be more studies on dust control,
13 definitely, and that will be addressed further.

14 DR. OZDEMIR: Okay. Thank you.

15 DR. ALLEN: Well, I would like to suggest that we break
16 for lunch. It's twelve-twenty. We're one recitation short.

17 Carl, did you have something?

18 MR. GERTZ: Let me ask one question of the Board. Ed
19 Cording asked a little bit about some more interactions maybe
20 on our study about multiple TBM's, and we don't have that on
21 the presentation, but I've talked to Ted and he can probably
22 put something together with the individual that is conducting
23 that study and maybe we can add that tomorrow morning. Would
24 that be sufficient? I don't know what your time--it might
25 cause us to go a little late tomorrow afternoon, but I think

1 it's a subject that we'd like to interact with you on; at
2 least hear your views of our assumptions and where we're
3 heading because I think that's an important part--

4 DR. DEERE: I think that could be interesting while we
5 had all the group here.

6 MR. GERTZ: Sure. Okay, Ted, we'll do that tomorrow
7 morning. Okay, we'll add that first thing in the morning
8 before we get into the repository phases, or to whatever else
9 we carry over from today.

10 DR. ALLEN: Okay. Let's try to reconvene at one-thirty
11 sharp.

12 (Whereupon, a lunch recess was taken.)

13

14

15

16

17

18

19

20

21

22

23

24

25

1 Again, the plan that I am going to be presenting is
2 a four TBM concept. That is the approach that went along
3 with the reference design concept, Option 30 that was
4 developed in the ESF Alternative Study. So it can be
5 considered kind of a base case or a reference plan.

6 I guess my discussion is going to focus really on
7 three key elements of the plan that you see here on this
8 viewgraph; the configuration and the extent of the
9 exploratory drifting. Again, I am not going to spend too
10 much time on these because we've got the handouts and in
11 addition we have seen quite a bit of this this morning
12 already. But, again it is based, generally speaking on the
13 ESF Alternative Study reference design concept.

14 Secondly, the excavation methods that would be
15 employed, and our basic approach was that we would use
16 mechanical methods wherever they can be shown to be feasible
17 and practical.

18 The third item is the excavation sequence or at
19 least the excavation priorities, and those again are based on
20 the testing priorities that were developed during the ESF
21 Alternative Study.

22 The next two viewgraphs I think I will show at the
23 same time up here. We have kind of alluded to this I think
24 already this morning, but just to give everybody an idea
25 again of the configuration of ESF and the extent of the

1 drifting, I think everybody is pretty well aware by now that
2 we've got the two ramps that provide access to the upper
3 level and two internal ramps going to the lower level. We
4 have a considerable amount of drifting on both the upper and
5 lower level as you can see on the viewgraph to my left over
6 here. You can read those as well as I, so I am not going to
7 go over them, but again there is about 76,000 total feet of
8 drifting over 14 miles of drifting included in the accesses
9 as well as all the lateral exploratory drifts on both levels.

10 Again we show the optional shaft which is
11 tentatively located up in the north or northeast quadrant of
12 the facility, and the main test area which is not detailed
13 here, I have another viewgraph that details that, but it is
14 located as well up in the northeast corner of the repository.

15 The next viewgraph, and again I think you have seen
16 this already this morning as well, but a few things I want to
17 say about this particular layout. This is the main test area
18 layout. To kind of help you get oriented a little bit, this
19 is the main northeast-southwest trending drift on the Topopah
20 Springs horizon. This particular drift is the drift that
21 goes about a half a mile out to the Imbricate Fault Zone,
22 exploratory drift.

23 I think as Dick Bullock mentioned this morning, you
24 can see there is an area dedicated to underground support
25 facilities for the shops and the offices and the warehouses.

1 Primarily this area is the primary testing area over here,
2 although we do have tests that are located in other areas.
3 We have a science storage area as well as a science shop
4 located down in here.

5 One of the things I would like to point out on this
6 particular layout is this area of the sequential drift mining
7 test. Now this is a test that requires the use of a TBM in
8 order to get the kind of data that is needed. We have to
9 replicate the same mining method that would be used for doing
10 emplacement rooms in a potential repository. Hence, you can
11 see there is a TBM erection chamber shown on here. The
12 concept is that when the TBM becomes available, one of the
13 Calico Hills a smaller diameter TBM, as soon as one of those
14 became available, finished on the Calico Hills level, that it
15 would be brought up to this location and erected, launched
16 through this area and the response of the rock as it is mined
17 would be monitored through these monitoring drifts. This TBM
18 would go ahead and proceed another half mile anomaly out to
19 the Calico Hills drift.

20 In terms of excavation methods, again we really
21 haven't done any study, haven't done any further study since
22 the alternative study with regard to excavation methods. As
23 you will see in the recommendations, we think some studies
24 certainly need to be done in this regard in the Title II
25 phase. But the general arrangements, drawings that are part

1 of the Title I summary design report, the work that we have
2 just completed, that is what I mean by the design basis.
3 These were the methods that provided the basis to develop
4 those layouts.

5 While I am talking about this I will go ahead and
6 put up the other viewgraph here because I think it is
7 worthwhile looking at them both together.

8 In the Topopah Springs ramps as well as the Calico
9 Hills ramps in the main drift, the design basis which came
10 out of the ESF Alternative Study, the preferred concept is
11 tunnel boring machine. That is the recommendation. I don't
12 think really that needs any further study with regard to what
13 kind of mining method is going to be employed.

14 I should mention that the colored viewgraph that we
15 see here, I don't believe you have colored handouts, but at
16 any rate the blue all designates drifting to be done by
17 tunnel boring machine; the green indicates mobile miner; the
18 lavender or purple color is indicative of roadheader; and,
19 then the optional shaft is yet to be determined. You can see
20 at one glance that the vast majority of the drifting is
21 planned to be done by tunnel boring machine.

22 Getting back to the spreadsheet over here again,
23 the exploratory drifts, mobile miner, TBM, the TBM again is
24 the drift that we see. The Topopah Springs/Imbricate drift
25 we see colored in blue. A TBM was employed in that drift

1 because it is needed for the sequential drift mining test.

2 With regard to the exploratory drifts in the
3 Topopah Springs, our recommendation is that some tradeoff
4 studies really need to be done to determine what is the
5 preferable machinery to be used to mine those drifts. There
6 are some alternatives. Perhaps a heavy duty roadheader might
7 be employed.

8 The reason the mobile miner by the way was selected
9 is that it employs disk cutters. The rock is quite hard, I
10 think, as most of us know on that level and it was felt that
11 probably a machine using disk cutters is going to be required
12 to effectively cut that rock. But, there is a possibility
13 perhaps that where we see the east/west drift, it is now
14 shown with a mobile miner, well there is a possibility and
15 were some comments in fact in our design reviews to that
16 extent that a tunnel boring machine is another possibility to
17 be used in there to go ahead and erect that tunnel boring
18 machine. These are things that really need to be looked at.
19 They haven't been studied.

20 Also, the main test area, the core test area, which
21 is not well-defined on these, it is the layout that I showed
22 previously, that is based on a mobile miner. Again, that is
23 an area where the rock is pretty hard. You need a machine
24 with a lot of mobility. Unfortunately, a mobile miner,
25 contrary to the name doesn't maybe offer all the mobility you

1 would like to have, but it is certainly more so than a tunnel
2 boring machine. If a heavy duty roadheader, if it is
3 feasible that a heavy duty roadheader could be used with the
4 conical type cutting tools, that would be a preferred piece
5 of machinery in there. Again, that would be the subject, I
6 think of a tradeoff study. At least one tradeoff study needs
7 to be done to look at what are the preferred excavation
8 methods in each of these discreet areas.

9 Again in Calico Hills area a roadheader would work
10 very nicely down there in the non-welded tuff; so might a
11 ripper type or drum type miner. Either one of those machines
12 would work quite well.

13 In the miscellaneous test alcoves, we show
14 mechanical drill and blast. Even though I said up front that
15 the basic philosophy is that we would use mechanical where it
16 was feasible and practical; there maybe some areas where it
17 is just really not very practical to use that, and those
18 areas may require drill and blast. If that layout that I
19 showed earlier, the main test aerial layout, you will notice
20 that many of those alcoves are shown at right angles. Those
21 obviously--that layout is based on a mobile miner and some of
22 those alcoves couldn't be mined with a mobile miner. That is
23 not to say that you couldn't put some alcoves in at a
24 different angle perhaps. But, it may be with some of those
25 that drill and blast is acceptable. That is something again

1 that we would recommend those need to be looked at on a case-
2 by-case basis to determine looking at all the issues and
3 determining what is the preferred methods.

4 Again, finally the optional shaft, that is
5 something that really has only been looked at thus far in
6 terms of where is the best place to locate it. Certainly
7 there needs to be some analysis done in Title II to determine
8 what is the preferred excavation method considering what it
9 is going to be used for. It is going to be used to support
10 the testing program and so forth.

11 Well the next several viewgraphs, I think everybody
12 has got a pretty good idea of what a tunnel boring machine
13 looks like. I've talked about excavation methods and I
14 mentioned tunnel boring machines. We have one here again.
15 It is a full-faced type machine, employs disk type cutters;
16 here we have the gripper assembly back here where the machine
17 is stabilized and steered.

18 Less of you may be familiar with a mobile miner; I
19 have mentioned it. This is--it is not, I don't think you
20 could call it a well proven machine. There's really only
21 been one machine thus far that has been built and employed in
22 Australia mining. It looked quite different from this. This
23 is a second generation machine that I understand is currently
24 nearing completion in the manufacturing process. It is going
25 to also go into an Australia mining situation; there is a

1 third machine being designed. Basically, it can cut hard
2 rock because it does employ the disk type cutters on the
3 front of the machine. You've got a head that rotates about a
4 horizontal axis and at the same time it is slewed from side
5 to side. It's a crawler mounted machine. It is getting very
6 large and unwieldy compared to the first generation. I say
7 unwieldy, I am not sure how unwieldy it is; I haven't seen
8 it. But, it is a very large machine, very long and very
9 heavy. This machine is stabilized in an aft location here
10 and at the front location with the crawlers and this roller
11 on the top. And then the cutting wheel is thrust ahead as it
12 is slewed from side to side.

13 When you go to back the machine up, for example, in
14 an area like the main test area, where there would be need
15 to make turns and to back up and you know start another
16 drive, you don't have to try to back it. This becomes a
17 tractor out front. These are powered crawlers and these go
18 into free wheel and you can essentially pull the thing back
19 out. So that aids the mobility or should aid the mobility
20 somewhat.

21 And the last viewgraph of these mining machines is
22 the roadheader. Again, this is a type of machine, it is hard
23 to tell from this viewgraph that employs not disk cutters but
24 conical cutting tools, pick type cutters on the head. These
25 type of tools typically aren't effective in the hard rock

1 that we are talking about, the 22,000 psi, unless it is
2 really fractured rock, you are going to have one heck of a
3 time cutting it with this type of machine. But, this type of
4 machine will work very well down in the non-welded tuff on
5 the Calico Hills.

6 The next two viewgraphs, and I'll put these up at
7 the same time as well, deal with the excavation sequence or
8 priorities. Again these priorities relate directly to the
9 testing priorities that were developed as part of the ESF
10 Alternative Studies. Again, as we are all aware the overall
11 idea was to get to the Calico Hills, and well, first of all
12 the idea is to obtain information related to early assessment
13 of site suitability as soon as we can. And in that interest
14 we wanted to get down to the Calico Hills. In doing so of
15 course, the first thing you have to do is get from the
16 surface, at least down to, as this indicates, take those
17 Topopah Spring ramps as we call them from the surface, down
18 to the Calico Hills takeoffs, including the critical test
19 alcoves.

20 I've defined what I mean by critical test alcoves.
21 Again, this is a definition that came out the alternative
22 study. Those critical test alcoves were the ones where would
23 provide first of all, critical tests had to provide site
24 suitability information and it had to be information that
25 would be lost if you didn't get it in parallel with the

1 construction activities. So those would be activities as we
2 see as number 1, the two ramps on the viewgraph on my left.

3 Next we have got the Calico Hills ramps including
4 the critical test alcoves in those. So, the idea again with
5 this base case reference plan was to take the large diameter,
6 and again we are talking four tunnel boring machines; two of
7 the larger diameter and two of the 18 foot diameter to the
8 Calico Hills. So, those two machines would start at some
9 appropriate lag time, a couple of months or whatever from the
10 surface. When each of those machines passed the Calico Hills
11 ramp takeoff at an appropriate distance, that machine would
12 be stopped and an erection chamber would have to be excavated
13 underground and the smaller Calico Hills TBM launched and
14 subsequently those two TBMs would proceed on down to the
15 Calico Hills level with driving of the laterals to proceed
16 just as soon as an area was opened up where you could get
17 them in there, or get a machine in there.

18 So, we've got the Topopah ramps, the Calico ramps
19 and then the Calico Hills exploratory drifting, the Topopah
20 exploratory drifting, and finally the core test area. At
21 some point you would have to go back up in the ramps and
22 perhaps in the other areas and pick up the deferred test
23 alcoves; those tests that weren't critical tests but still
24 need to be done, and then also the optional shaft if
25 necessary.

1 That basically covers the three key elements I
2 think of the plan that so far have been looked at in this
3 preliminary phase as far as the configuration. We do have a
4 base configuration, the construction methods, and the
5 priorities, excavation priorities in the ESF.

6 The next couple of viewgraphs here, and I am not
7 going to dwell on these. I know they are not going to show
8 up very well, they are so small, and you have these in your
9 handouts. Just a few words about the TBM construction
10 sequence. Our current planning would call for initial ground
11 support that would occur directly behind the TBM cutter head.
12 And again, if additional support is needed, it can be done
13 between a TBM and the trailing gear.

14 Geologic mapping would occur kind of in a dedicated
15 area, and I'll show you that in a minute on a viewgraph,
16 immediately behind the TBM trailing gear. The TBM would be
17 stopped to allow for excavation of the high priority alcoves
18 or stations. For example, the Calico Hills ramp takeoff
19 intersection, we would stop the large diameter TBM until you
20 could proceed with the intersecting drift, the excavation of
21 that intersecting drift without interfering and then both
22 machines would be allowed to go again.

23 Permanent ground support and utilities could be
24 installed back behind the dedicated mapping area. The idea
25 was to leave that area as uncluttered and as visible as

1 possible for the mapping activity.

2 I apologize about the size of these viewgraphs. I
3 am not going to talk about them for very long here. But,
4 here we have the TBM up in the face. Initial ground support
5 would occur right here maybe through the finger shields on
6 this TBM. Additional ground support could occur in this area
7 ahead of the trailing gear. Back behind the trailing gear in
8 this area we have a dedicated window. Right now or in our
9 conceptual layouts that was 250 foot long window that was
10 desired by the mapping folks where they could get in and do
11 their mapping.

12 In that area, as illustrated by section B here, the
13 mappers wanted if possible, to have a minimum of 270 degrees
14 of the periphery available for mapping. And, the scheme that
15 we show here with the temporary utilities, conveyor mounted
16 on the rib and a small temporary ventilation duct and a
17 utilities mounted all in this same quadrant down here, there
18 is somewhat more than 270 degrees available.

19 Again, the next section over here, A, is back here
20 in more or less the permanent utilities section. It just
21 shows that the utility and conveyor could stay in the same
22 location; probably would stay in the same location. But the
23 other utilities and vent duct and so on would be relocated.

24 And the next two viewgraphs again, they are
25 difficult to see, you might want to look at your handouts.

1 But, it just shows conceptually it is one way where a ramp
2 station or an intersecting drift, the drift that intersects
3 the TBM drift, it is a critical drift. It has to be
4 started as soon as possible. How you could do that with
5 perhaps a minimum interference with the TBM. The TBM would
6 have to be shut down. Once you recognize where the drift was
7 going to go, an intersecting drift, you clear that area with
8 the TBM and basically dismantle utilities and protect your
9 power cable. There are certain utilities like your power
10 cable that have to still continue through that area. So, you
11 can protect those from damage. Then you can either bring in
12 your drill and blast or alternately if mechanical methods are
13 practical, you would bring that machinery in and go ahead and
14 make a couple of cuts; get that intersecting drift far enough
15 in that you could go ahead and basically reinstall your
16 utilities we see here on the second page, and reinstall your
17 belt and so forth and then both machines could proceed
18 without interfering with each other.

19 The final viewgraph again just a summary. I have
20 talked about the three plan elements here. The
21 configuration with regard to the results that we have thus
22 far, so called Title I results. We have established at least
23 a base case, a reference configuration and extent of
24 drifting. Title II design, some of the things we have
25 talked about this morning, there is certainly many

1 refinements that can be done to this. Some of them we talked
2 about the north ramp gradient and alignment. Those are
3 things that are currently being looked at. Ramp curve
4 radius, that is something else that goes right along with
5 the alignment. And the main test area layout is something
6 that will most assuredly continue to evolve as more is known
7 about the specific tests that are going to be run down there
8 and some of those ideas are mature, let's say.

9 Excavation methods, again the Title I results. We
10 didn't really do any further study on those. They are based
11 on the alternative study and as I had indicated, there are
12 quite a few tradeoff studies that are needed to establish
13 what the preferred methods are.

14 With regard to the excavation sequence and
15 schedule, this approach of whether four TBMs, I think we have
16 talked about that and we are going to talk about it some
17 more. It is obviously a very expensive approach and funding
18 is a limitation; always on programs it has to be looked at.
19 So there are other ways of doing that and again tradeoff
20 studies I think can be done to show alternatives and ways of
21 doing things, and in fact select the best way of doing it.

22 That completes what I had to say about the base
23 case or reference excavation plan. If there are any
24 questions, I'd be happy to try an answer those.

25 DR. DEERE: Yes. With respect to the layout that you

1 have shown there, could you go through again what the 1's,
2 2's, 3's, 4's, 5's, 6's, because this has six, what we have
3 been looking in the past at things that had ten. I want to
4 make sure they are referring to the same thing or different
5 things.

6 MR. KENNEDY: Right. These were meant to show the basic
7 priorities for the various underground elements of the ESF.

8 Number one should tie back pretty well to the
9 viewgraphs that I had that I think listed those, if I can
10 find it. Unfortunately the numbering doesn't tie one-to-one.
11 There are seven items on this list, but again it is just
12 these basic priorities at least until we get up through item
13 5. The Topopah Springs ramps down through the takeoff,
14 those would be basically, in terms of sequencing again with
15 this base plan, those would be concurrent activities, both of
16 those ramps.

17 DR. DEERE: Okay. The first five then?

18 MR. KENNEDY: The first five do match between this list
19 and the items that we see here. Number one are the ramps to
20 the Topopah. The second priority as soon as possible, we get
21 to this takeoff, we stop these large machines long enough so
22 that we can do the necessary work to assemble and launch the
23 Calico Hills TBMs and then those TBMs precede on down to the
24 Calico Hills level. So, I've called those number 2.

25 The third priority is item 3, and that is where

1 perhaps it gets a little confusing. These are priorities
2 probably. I've called them over here priorities rather than
3 sequence in that even though this is priority item 3, I think
4 it is easy to see that if you start a TBM right up in this
5 area going to the Calico Hills, at the same time you restart
6 a TBM here, that you are going to get this excavation on this
7 level done before you get it done down here. I was just
8 simply trying to show the priorities. And, as it works out
9 if we saw a schedule of this, it is obvious that you would
10 actually get this information concurrent with or before you
11 got this information.

12 MR. PETRIE: Bill, again I would like to emphasize that
13 this is all preliminary data. When he says a priority, it
14 hasn't--that is for this particular discussion based upon
15 what he was looking at. It has not been given the thorough
16 analysis that we need before we can decide what in fact
17 should be the sequence.

18 DR. DEERE: Right. Thank you.

19 And then a second question on that. Let's say that
20 you could only drive one instead of two of those declines on
21 down to the Calico Hills. What would you be missing if you
22 were going to cut out the south approach, or what would you
23 miss if you cut out the north approach?

24 MR. KENNEDY: You are talking about only one of these
25 two at least on this list?

1 DR. DEERE: Yes. Just musing about it.

2 MR. KENNEDY: I'll give you a very brief answer and then
3 I think I would like to turn it over, maybe this is a
4 question better answered by the testers.

5 It is my understanding that this one thing we've
6 learned more about during this recent Title I or general
7 configuration development is that much of what needs to be
8 seen with regard, or many of the important things, not the
9 structural features, but with regard to the facies changes
10 between the zeolitic and the vitric, occurs down on the south
11 end. You would probably want to use the south ramp to go
12 down and get a look at this area here. I am not sure if you
13 concur with that.

14 MR. PETRIE: This is Ted Petrie, again. I am going to
15 spend a little bit of time on that when we get to my
16 presentation, so it might be better to hold off on that.

17 DR. DEERE: Right. Thank you.

18 DR. ALLEN: Other questions or comments?

19 DR. CORDING: As you mine out these alcoves, is there a
20 layout that you have in terms of the positioning of the
21 utilities and services where you could mine out a side
22 alcove, at least small ones; perhaps not this big area
23 chamber for the startup of the other TBMs down to the lower
24 level, but certainly for upper levels or smaller side drifts,
25 couldn't you lay it out in such a way that you wouldn't have

1 to disrupt the utilities and services to the TBM. You know
2 mine out on one wall where you pull your conveyor up at that
3 location and all your pipe services are on the other wall.

4 MR. KENNEDY: Right. And I think somebody indicated
5 earlier, the preferred situation is where you can, you would
6 locate these alcoves on the side opposite for example,
7 especially if you are going to locate your conveyor down near
8 the invert on a spring line and your utilities over there,
9 you would try to coordinate that so that most of your alcoves
10 would be on the other side. So, if that was the case, you
11 could probably do those, particularly the smaller ones with
12 very minimal interference to the utilities. Again,
13 particularly if it is in an area that is amenable to
14 mechanical excavation, then you don't have the blasting
15 concussion and stuff, then even with blasting, you can do
16 things with your blasting mass and so forth. I think maybe
17 the viewgraphs I showed earlier were kind of a worse case, if
18 the alcove had to be on the same side that the utilities are
19 on. Occasionally that will happen, but we try to minimize
20 that type of a situation at the layouts.

21 MR. MCFARLAND: Yes. Perhaps a question of Ted. Other
22 than perched water, have there been any tests identified that
23 are defined as critical?

24 MR. PETRIE: This is Ted. I'd have to ask Hemi. Maybe
25 he has a better knowledge than I. I don't know.

1 MR. KALIA: This is Henii Kalia with Los Alamos. As of
2 now we have given top priority to the perched water only. We
3 do not think there is anything else that we need to be--we
4 will be collecting samples which we think are not interfering
5 with construction. We are doing geologic mapping; we think
6 is not interfering to construction.

7 If we see some unusual features that were not
8 expected making some impact, but as of now, perched water is
9 the only one that would require stopping the operations.

10 MR. MCFARLAND: Thank you.

11 MR. GERTZ: Just let me add one other thing from a big
12 picture of project manager's point of view. I asked my team
13 obviously to keep lots of options open, because while we have
14 limited funding and the next year's was limited funding, I am
15 still being held to a 2001 license application date, so I
16 want to make sure I can get all my information by 2001. So,
17 while we may not have enough money to get a lot of TBMs
18 started at once, at some point in time I may need a lot of
19 them going so I can complete everything to get the tests done
20 in order to meet 2001. I just thought I would throw that out
21 into the many variable and tradeoff studies that we think
22 about. But, right now, our committed schedule is still get a
23 license application in 2001 despite the limited funding in
24 1992.

25 DR. CORDING: There is another definition of perhaps a

1 critical test in terms, it is not so much that the data is
2 irretrievable, but according to the schedule you want to get
3 some early information perhaps at upper levels. That might
4 be a reason you want to be able to break out at an upper
5 level. And if one can do that without slowing the TBM down
6 significantly, then you've got a benefit there.

7 But again, I just go back, Carl, to looking at all four
8 TBMs stopped waiting for those start-up chambers to be mined
9 down at that lower level. There is a tremendous amount of
10 time involved in trying to get those other two TBMs in
11 operation and you shut your other two TBMs down. So you have
12 got several months for each one of those TBMs and that adds
13 up to something in the order of over a year of time that
14 these machines aren't being productive. That is the other
15 part of it.

16 MR. GERTZ: Absolutely.

17 DR. CORDING: More numbers sometimes doesn't add up to
18 more progress.

19 MR. GERTZ: A thousand men can sometimes not do a
20 thousand man hour job in one hour.

21 MR. KENNEDY: I agree with that. That really needs to
22 be looked at as how much time savings if any does four TBMs
23 really buy you.

24 MR. GERTZ: And we'll talk a little bit more about that
25 in the TBM studies tomorrow morning, I think.

1 MR. FRIANT: I'll save you a little time unless you are
2 emotionally tied to that intersection between the 25 foot
3 ramp and the 18 foot takeoff. If you would just come down
4 with the large TBM, come off at an angle, back it up 100 feet
5 and then go on its merry way, you have done the chamber in
6 about three days.

7 DR. ALLEN: Ted, did you want to say something?

8 MR. PETRIE: I was just going to ask Bill a question.

9 How many alcoves have been identified to date?

10 MR. KENNEDY: A lot. I can't answer the question.

11 MR. PETRIE: That's why I asked the question. Do you
12 recall, Hemi? I think it is about 100, isn't it?

13 MR. KENNEDY: Our general engineering drawings show a
14 good number of alcoves.

15 MR. KALIA: I don't recall exact number, 60 or some.
16 But remember a significant amount of excavation that is being
17 made and a lot of contacts are being intercepted. When you
18 look at both north and south ramps, there are types of
19 information that is being looked at from the geological
20 contact and the testing that has to be conducted. There are
21 certainly a large number of alcoves that have been
22 identified.

23 The purpose of the alcoves of course is to allow the
24 TBMs to operate. In other words, you get out of their way
25 basically. And alcoves, we have not said they must be

1 constructed when you are mining with TBM. They can be done
2 later on as a deferred task. They are not in the list to
3 stop the progress of construction.

4 DR. CORDING: Just a follow-up to what Jim Friant was
5 mentioning. But, Jim's comment about backing the machines up
6 would seem to me that perhaps is what you are talking about
7 when you indicate the TBM alternative in the Topopah Springs
8 for the east and west drifts. You back up to that and take a
9 radius there and do the cross drift mining there without
10 having to use a mobile miner. Is that it?

11 MR. KENNEDY: No, not quite. And the reason is, I mean
12 that might be a nice way to do it; the only reason at this
13 point, well that is a study that really needs to be looked
14 at. One reason why we may not want to do it that way is
15 again looking at future needs, this drift, this main north
16 south drift in a potential repository becomes one of the main
17 drifts in there and there are others that parallel that. You
18 have got to be careful with what kind of a configuration may
19 eventually come down the road there. And of course, when you
20 back up and start radiusing that, it gets harder, let's say
21 to integrate that into a future pillar layout in that area, a
22 room and pillar layout. It is a little easier if you just
23 constructed a chamber at right angles. It certainly would
24 take a lot more time to do that.

25 One of the issues there is what kind of a turn

1 radius you might have. And of course, that gets back to what
2 type of machine and how large a machine you have. The larger
3 the turn radius that you have to have, the more you are going
4 to tend to cause problems with real estate that may catch up
5 with you in the future.

6 But those are things that just really need to be
7 looked at in a tradeoff study and I think it should be pretty
8 easy to list the issues and make an assessment of it and
9 document it and know which is the best.

10 DR. ALLEN: Okay. Are we ready to move on.

11 Bill are you also the next speaker?

12 MR. KENNEDY: I am.

13 The second topic I'll be discussing this afternoon
14 is the tradeoff study, a preliminary tradeoff study that
15 looked at some of the primary elements of an underground
16 transportation methods, underground transportation systems.

17 Three key aspects are shown on this viewgraph for
18 the underground transportation requirements that were looked
19 at in this study; specifically the muck haulage including
20 main and secondary haulage; transportation of personnel
21 including all the operations and maintenance personnel, test
22 personnel, visitors, ambulance service and so forth that
23 would fall under that general heading; and, then the
24 transportation of materials and supplies in regard to support
25 the construction and ongoing operations activities of ESF.

1 So again I will be addressing these three areas of
2 transportation requirements.

3 The first thing I will be talking about is the mine
4 draw, muck haulage, as we call it. We will look at some of
5 the requirements there. One set of requirements, with regard
6 to haulage grades and distances, are illustrated by this
7 schematic and we've been over this several times, so I will
8 just go over it quickly. We were looking at grades that vary
9 from in the mains basically, as we see with the solid line,
10 one of the ramps we have about 9.5 percent currently, with
11 the current configuration. The other one is 1.5 percent and
12 this main entry that connects the bottom of the ramps is
13 about 6 percent.

14 On the lower level, Calico Hills level, the ramps
15 have grades of current configuration of up to 10 percent, and
16 the main connecting drift in the north south direction is
17 about a 4 percent grade. As far as distances, you can again
18 get an idea that in some cases you are up to about four miles
19 with your main haulage system; about a four mile haul from
20 the point where the material comes onto the main haulage
21 system until it gets out of the portal.

22 Another requirement that bears on the selection of
23 a haulage system is the required capacity. How much material
24 do I have to move or transport? Again, consistent with the
25 ventilation constraints that Romeo Jurani talked about

1 earlier and consistent with the excavation plan that I just
2 described, the haulage system capacity for a peak situation
3 is based on handling four different areas; four different
4 mining faces. A TBM on the Topopah Springs level, producing
5 perhaps an instantaneous tonnage rate of slightly over 300
6 tons an hour, another mechanical miner on the upper level
7 producing 75 tons an hour and a TBM, an 18 foot diameter TBM
8 on the Calico Hills level producing approximately 170 and a
9 mechanical miner down there at 70 tons an hour. When you add
10 all those up and allow 25 percent for uncertainties, you are
11 talking in excess of 770 tons an hour instantaneous rate.
12 This rate would apply to either the amount that would have to
13 be hauled either out of the north portal or the south portal.
14 Again, with the reference excavation plan concept.

15 This schematic basically just illustrates that
16 point again. We have again with the solid line we have a TBM
17 and a mechanical miner on the upper level producing at
18 instantaneous peak rates of 471 tons an hour. When you
19 include the uncertainty allowance, the lower level, the
20 additive tonnage spilling onto this main haulage way or
21 whatever is 300 tons an hour for a total of 770 tons an hour
22 including the uncertainty allowance. So that is the basic
23 tonnage requirements. And again, with this excavation plan
24 doing everything at once, you could have this same amount,
25 what we show here is the north end, but this same amount

1 could be required to be transported out of the south end as
2 well.

3 This kind of just summarizes some of the key
4 haulage requirements with regard to main haulage; tonnage,
5 out of either the north or the south is 770 tons per hour;
6 the haulage distances indicated up to four miles; haulage
7 grades that vary between almost flat, 1.5 percent on up to
8 about 10 percent; product size of less than 12 inches much of
9 it is going to be mechanically cut and it would be small
10 material and that that may have to be drill and blasted could
11 be sized if necessary in a feeder-breaker type arrangement.
12 And again, it is based on excavation areas that are on two
13 levels with two headings on each level.

14 Based on those requirements, the main haulage
15 systems that you see listed on this viewgraph were
16 considered. I see six of them here basically; a rail with
17 diesel locomotives; a rail with electric locomotives;
18 monorail and cable hoist, that could be a double track but
19 with a cable hoist; and then either rubber-tired vehicles
20 either electric or diesel; and finally, a conveyor.

21 As we heard this morning in earlier talks, the
22 configuration as it currently exists, doesn't lend itself to
23 the rail haulage because of the grades that we are talking
24 about. So, that pretty well eliminates rail as a main
25 haulage throughout the extent of the south.

1 Likewise a cable hoist type system on monorail or
2 double rails is not really applicable to the configuration we
3 have. We have many changes in direction. We have changes in
4 grade and so forth, so that system was basically eliminated.

5 The rubber-tired, either diesel or electric,
6 doesn't really seem appropriate given the quantities that we
7 talked about; over 700 nearly 800 tons per hour. These are
8 pretty sizeable instantaneous quantities. When you look at
9 the number of vehicles that it would take, you realize it
10 would be an excessive number of them, excessive traffic on
11 the ramp. And in case of the diesels, excessive ventilation
12 requirements. So, it really is a pretty easy decision to
13 arrive at the conveyors as being a recommendation for the
14 primary or main haulage system. Conveyors, of course can
15 accommodate very high capacities. They lend themselves very
16 well to the configuration and the capacity and the distance
17 requirements that I have described. If they are correctly
18 designed, installed and maintained, they have proven to have
19 very high reliability in many different kinds of mining
20 applications. Likewise, they are very cost effective, if
21 properly designed and operated. And of course, they are a
22 well-proven piece of equipment in this type of an
23 environment.

24 When you talk about conveyors, there are options as
25 I think Bruce indicated this morning. Particularly with

1 regard to one area where there are options, where do you
2 mount it? Do you have a wire rope supported, chain suspended
3 type conveyor from the roof or the back of the tunnel? Or,
4 do you locate it up against near the spring line or down near
5 the invert against one rib? Another issue is special
6 conveyors for the curves. I think someone indicated that the
7 general arrangements, at least in the Calico Hills level
8 showed 300 foot radius curves, and that is an area that I
9 think I mentioned earlier that needs to be, that would be a
10 refinement. It certainly needs to be looked at in that
11 configuration.

12 You can either use special conveyors to get around
13 those curves or you can increase the radius of those curves
14 and perhaps just use standard belt conveyors, which is
15 certainly preferable if the configuration can be laid out
16 that way. So these are things that really need to be
17 evaluated in the detail design phase, and will be.

18 Some of the considerations during the evaluation
19 would be such things, and we talked about some of these this
20 morning again. The clearance envelope; what kind of a
21 roadway width do you have? By suspending the conveyor from
22 the back, certainly we increase the potential width of a
23 roadway in a given tunnel size, but then perhaps you raise a
24 safety issue if you are going to have people traveling
25 underneath that belt, the conveyor breaks--in other words, it

1 might be a situation where you would want to look at some
2 kind of a safety thing like guarding the conveyor. Putting
3 some guard there in case the belt breaks.

4 But these things can be looked at in evaluations
5 and tradeoffs and the best engineering solution can be
6 developed. Maintainability, operability issues are always
7 something that has to be accounted for in this type of a
8 tradeoff study. And also, any potential impacts that testing
9 is something we have to constantly be aware of in this
10 program.

11 The next viewgraph again just illustrates the point
12 of two possible locations for a conveyor. In this case in an
13 18 foot diameter cross-section, we have one that is mounted
14 down here, a rigid mount on the side of the tunnel. Another
15 alternative would be locating it, again a rope mounted, roof
16 suspended with chains, hanging up in this location. You can
17 see we have considerably more roadway. But, again you may
18 find a need from a safety aspect to guard that conveyor full
19 length.

20 So while we recommended conveyors, there is
21 certainly more work that needs to be done in the detail
22 design phase, of course, in determining the exact
23 configuration of the conveyor that is the best for any
24 particular area.

25 Secondary haulage, these would be the material that

1 is mined, for example, in the lateral drifts or the alcoves
2 or in the main test area that has to be loaded onto the main
3 haulage or main conveyor system. Preliminary recommendations
4 are that conveyors again would make sense in the longer
5 drifts. If you have got drifts that are a couple of thousand
6 feet long or more, which we have most of them are down there
7 that way, a conveyor would certainly make sense, it appears
8 in those drifts.

9 Some of the shorter drifts and particularly the
10 alcoves that are not long enough to justify or warrant
11 putting a conveyor in. Also the main test area, those areas
12 are probably going to be better served by rubber-tired
13 vehicles. Again this is an area that further evaluation of
14 these things needs to be done in Title II to determine on a
15 case by case basis, what is the best solution.

16 Several options, the next several viewgraphs just
17 show several options with regard to this secondary haulage.
18 A load-haul-dump LHD may or may not be applicable in some of
19 these areas. A LHD as most of you know can be used for
20 hauling muck and also it has high utility in many areas,
21 typically in mining situations. They can haul materials and
22 supplies on a limited basis down there for short hauls. It
23 can be used for other things; mucking uphill and downhill,
24 cleaning roadways, clearing out sumps and ditches. Typically
25 their efficiency drops off as the haul distance gets longer.

1 And of course, there is an illustration, kind of a
2 typical LHD with the front bucket on it. A low profile
3 vehicle commonly used in mines. It can be diesel or
4 electric. Diesel is certainly more flexible, but it requires
5 additional ventilation over electric.

6 Another possibility are shuttle cars as far as
7 secondary haulage, particularly in the main test area. If you
8 are going to use a mechanical mining machine be it a heavy
9 duty roadheader or a mobile miner, a shuttle car might work
10 quite well in there. Again, the only thing they are used for
11 is hauling muck. A unique aspect of the operation of shuttle
12 cars is that they can load, tram and unload without
13 turnaround. They are loaded from one end, they tram back to
14 the dump point and the material is unloaded out of the
15 opposite end. They require typically 14 feet. The typical
16 size shuttle cars require a little bit wider roadway, they
17 require 14 feet or wider which we apparently will have down
18 in the main test area. They can be either electric or
19 diesel.

20 This viewgraph just shows a typical shuttle car.
21 In this case it is a rather large diesel-powered shuttle
22 car. Again, the material would be loaded from the machine,
23 the excavator, the primary excavator would be up at this end
24 loading this end of the shuttle car. There is a chain
25 conveyor in the bed of the shuttle car which moves the

1 material forward so that you can get a full load and then the
2 machine trams out to the dump point and without turning
3 around it elevates this end of the conveyor and can load onto
4 a belt very nicely or a feeder-breaker or whatever.

5 And finally, there may be some areas where trucks
6 of one type or another, one size or another are needed down
7 there. Some of this remains to be seen. It needs to be
8 looked at. Some alcoves for example; some area where for
9 whatever reason you might not be able to load it onto a belt
10 that you need to take the material on out to daylight. I
11 can't think of any situations right now where that would
12 occur, but if it does, then something like a truck may come
13 into play; there are several different types of trucks that
14 may be applicable. And there of course is a truck. It
15 happens to be a fairly large end dump truck come out of a
16 portal some place.

17 Well I am not sure--I appear to be missing a
18 viewgraph here, but I'll just kind of wing it. I am not sure
19 whether you have it in your handout, but the next function
20 would be the transport of personnel. Of course we are
21 talking about the operations people, the maintenance people,
22 all the inspectors, the visitors, injured people perhaps; all
23 of these types of functions have to be accommodated and again
24 our preliminary recommendation is that they would use rubber-
25 tired, probably diesel powered vehicles. In some case

1 electric battery powered vehicles may be worthwhile where the
2 distances they are going to be used is not great and they
3 don't have to traverse steep grades or anything. Perhaps
4 down in the main core test area or something like that. But
5 again, rubber-tired vehicles and the exact nature in terms of
6 the types and the size and the number needs to be looked at
7 in Title II. This is kind of a typical personnel carrier or
8 a rather large personnel carrier. You can take quite a few
9 people underground in something like this.

10 And finally, you have to transport materials and
11 supplies underground. All the consumables, all the materials
12 and supplies required to keep the ESF running, need to be
13 taken underground. In some cases, things have to be taken
14 back to the service. Again, preliminary recommendation is
15 rubber-tired vehicles. They are highly mobile, highly
16 flexible type of vehicles, well proven in this type of
17 environment and this type of surface. Again additional
18 analysis is required really to determine in Title II how many
19 of them you need, what sizes, what types.

20 When we are talking about all of these, whether it
21 be personnel transport or particularly, let's say in the area
22 of the secondary haulage vehicles, those really need to be
23 evaluated in concert with the mining equipment that is going
24 to be used. That really comprises the system, the excavation
25 equipment and the haulage equipment that is going to support

1 that operation. And that needs to be looked at together, at
2 least those pieces of equipment.

3 In summary, main haulage, recommend belt conveyors.
4 Certainly the details of where you mount those and sizing,
5 preliminary, something on the order of 36 inches looks like
6 it could certainly support, perhaps even smaller could
7 support the excavation activity that is currently envisioned.
8 But, the details of those conveyors can be worked out in
9 Title II.

10 Secondary haulage, longer drifts, again conveyors.
11 The details of which need to be examined in Title II.
12 Rubber-tired vehicles in other areas, particularly in the
13 main test area and the short drifts.

14 Personnel transport and supplies transport, rubber-
15 tired vehicles, again the details of how many you need, what
16 sizes and specific configurations need to be worked out in
17 Title II.

18 That basically completes the discussion I have on
19 the transportation analysis. Are there any questions or
20 comments regarding that?

21 DR. DEERE: I think that was a very clear presentation.
22 And, I believe we will try to make up a little time and
23 move right onto the next topic.

24 MR. PETRIE: My viewgraphs giving the agenda have
25 disappeared. I kind of thought somebody might have scarfed

1 them up with their own, so anyhow, this will be the last talk
2 on this section and then I'll introduce the next section and
3 we'll be off and running again.

4 I'm going to talk a little bit about the rationale
5 for a phased ESF construction approach. This can be about as
6 long or as short as we want to make it, I think. At any
7 rate, the rationale for the phased approach is that we'd like
8 to--well, we'd like to establish hold points for evaluation
9 and control of ESF development; that is, points where we can
10 ask questions of ourselves, such as:

11 Have we gathered the scientific information that we
12 need in where we've gone? Has our approach to collecting
13 scientific information been adequate? Do we need to make
14 changes during the next phase, when we go through the next
15 phases of the construction? Is the approach to the
16 performance of future phases still all right? Is that where
17 we want to go?

18 Again, site suitability. Is the site still
19 considered suitable? Should we stop here, or is there
20 specific information we know we now need that we would get by
21 going in some other direction?

22 Cost impact, it allows flexibility and it maximizes
23 the use of limited resources. As you know, we may end up
24 with only enough money to buy, for example, one TBM next
25 year. So we've got to make sure that we use that to our best

1 advantage.

2 And the schedule impact, the design-build
3 methodology allows construction to begin before the total
4 design is completed, and again, that's essentially a
5 utilization of resources to the best of your ability.

6 Now having said that, we have a couple of
7 alternatives, and, plus, there's going to be some more which
8 we mentioned earlier we'll be talking about a little bit
9 tomorrow morning, and let me say first when I put this
10 together I had no intention of saying that that was going to
11 be number one, that'd be the first thing we'd do, or that
12 would be number two. I should have used random numbers, I
13 think, and just thrown them at the--because we haven't really
14 decided yet what is the best way and what is the best phase
15 to begin with to get the information that we need, and I'll
16 talk about those things as well.

17 Just by having these phases, though, the thought is
18 that you could start over in the south there if you wanted
19 to, do this and this, and then you could make a decision here
20 as to, zip, go over here, go down here, or you could--or you
21 maybe will say at that point, I want to get that done. I
22 want to get to this main test area as quickly as I can and
23 get that going.

24 But the point I'm trying to make is that all this
25 was intended to do was to break it up into sections that were

1 feasible from a design and/or construction standpoint, and of
2 course, my construction people look at it and say, well,
3 that's not what I would do, so let me just show you the next
4 one.

5 Another alternative is to use Roman numerals
6 instead of Arabics. So at any rate, with that scheme we get
7 --the first phase is--goes, let's see, down to--I'm not sure
8 whether it goes to here or to here. The second phase is, or
9 another phase is this one, which is the Topopah Springs
10 level. The third phase is the one that goes down to the
11 Topopah Springs and the Calico Hills from the north, and a
12 fourth phase is the main test area and the optional shaft.

13 Again, this is again just something that we're
14 looking at, amongst many others, to try to decide what, in
15 fact, would be our optimum approach this year. It might
16 change next year, but this year, where should we be going
17 first? And, as I said, we have not decided yet. We are,
18 during the next--over the next--I'd say by the end of
19 October, we should have made a decision as to whether we're
20 going to go north or south first, and that's about all I have
21 with respect to the phasing. I have a couple of other shots
22 I'd like to show you, which I think--

23 MR. GERTZ: Excuse me, this is Carl Gertz. Leave that
24 up again.

25 Don, this was put together before your

1 recommendation, so it's just coincidence that number one
2 looks like one of the packages you talked about, and the
3 second one wouldn't be unlike one of your other options,
4 Roman Numeral three.

5 DR. DEERE: You sure that wasn't done at the noon hour?

6 MR. GERTZ: Well, it looks like, by coloring, that it
7 may have. I guess I'll ask Ted for an honest answer now.

8 MR. PETRIE: Honest. Honest Injun.

9 MR. GERTZ: No, I've seen this earlier, but--

10 DR. DEERE: Well, if it was, I congratulate you.

11 MR. PETRIE: Okay. Now, somebody asked some questions:
12 Well, what do you see in the north that you don't see in the
13 south, and vice versa? And we have a couple charts and I'm
14 not going to spend a lot of time on this because I'm not your
15 local expert, but I will just put them up there, and if you
16 have a few questions on them, we'll try to answer them.

17 Let's see if you can see what this is. Well, let's
18 see, in the north ramp, if you went through the north ramp,
19 these are the rock types you would be cutting through when
20 you got to the Topopah level, and then as you got down to the
21 Calico Hills level, and this one shows what happens if you
22 choose the south ramp. You go through all of these,
23 including, of course, all these faulted areas, and then down
24 to the Topopah level and into the Calico Hills.

25 I thought it was very interesting. At least I can

1 get a better feel of what's going on. Let me just leave it
2 there for a minute, and if you have any questions on it,
3 we'll try to answer them. But again, I just wanted to give
4 you an idea that these are the kinds of things that we're
5 thinking about in trying to make a decision as to where we
6 should spend our resources over this next year.

7 DR. DEERE: Yes, Don Deere here.

8 As I recall, most of these faults that you show do
9 occur almost at right angles to the direction of the ramps.
10 Isn't that right?

11 MR. PETRIE: I'm not sure that's true. I don't think
12 that's--well, I don't know.

13 DR. DEERE: They're mostly north-south trending, and
14 we're mostly--until we get into the J part and turn the
15 corner.

16 MR. PETRIE: I was thinking of the Ghost Dance one. I
17 think that's--

18 DR. DEERE: Yeah, Ghost Dance is not quite normal. It's
19 the one that's a little more oblique.

20 MR. GERTZ: In general, your comment's correct.

21 DR. DEERE: Because this will make a lot of difference
22 in the ease with which one can go through these. When you're
23 parallelling one, it's where you usually get over-break
24 problems and occasional fallouts and things such as that.

25 Are there any other comments that anyone in the

1 audience might have about this; some of the geological
2 fellows?

3 MR. WILLIAMS: Dennis Williams, DOE, part of Carl's
4 team.

5 I helped put together these drawings in a kind of a
6 cartoon or conceptual standpoint, but I think your
7 observation about the orientation of the faults is correct in
8 a broad sense. I think a couple of critical issues that this
9 shows, that were important to us in laying out the testing
10 program in the different ramps, you notice on the north ramp
11 that the takeoff ramp down to Calico Hills does not encounter
12 the Calico Hills in that ramp, per se, until it actually gets
13 down into the Calico Hills level. On the south end, however,
14 you do get down into the Calico Hills in that takeoff ramp,
15 so that helps give us a little earlier look at those
16 particular features down in the Calico Hills.

17 If you just kind of add up the projections of the
18 faults on these two different ramps, you'll see that the
19 south ramp has a lot more apparent intercepts than you would
20 on the north ramp, and I think that came--possibly comes into
21 the area of one of Dr. Deere's comments about the Ghost Dance
22 Fault versus other faults, and if you're looking at this as a
23 fault system and looking at the characterization of a fault
24 system versus individual faults, you'll see more of that in
25 the south ramp area.

1 Again, this geology is descriptive, but it should
2 be taken more as a cartoon to give a general impression of
3 what we're dealing with down there as far as the accuracy of
4 contacts and faults.

5 DR. DEERE: Okay, thank you.

6 From these, perhaps one could pick out where would
7 be the easiest place to go with this third excavated road
8 header, excavated upper drift. Perhaps you could comment on
9 that. Would it be easier to reach that in the north ramp or
10 in the south ramp?

11 MR. WILLIAMS: I'm sorry I left too soon.

12 I don't know whether I could, at this time, make a
13 statement on that, but I guess my tendency is to try to
14 encounter a feature like that from one of the ramps instead
15 of going with a whole new drift into the situation, but one
16 of the things I'd early consider would be coming off the
17 south ramp and going for that particular intercept. It may
18 be a little difficult to do, but that would be the only ramp,
19 main ramp that you would have the option to do that with.
20 Obviously, you wouldn't hit that particular area on your
21 north ramp.

22 MR. PETRIE: Well, I'm confused, okay? Where are we
23 trying to get?

24 DR. DEERE: Well, we're trying to get into that--
25 someplace in that purple layer.

1 MR. PETRIE: Oh, okay.

2 MR. WILLIAMS: Yes, you're trying to get into that
3 purple layer into the area of the Ghost Dance or the
4 Abandoned Wash Fault intercept, yes.

5 DR. DEERE: Right.

6 MR. PETRIE: Oh, okay. So then, therefore, you've got
7 to do it like the man says. If you want to get into the
8 Ghost Dance area, that's where you're going to try it.

9 MR. WILLIAMS: Yeah. Somewhere in the vicinity of the
10 south ramp.

11 DR. DEERE: Okay. Well, thank you for those comments.

12 MR. PETRIE: That's about all I had for the moment.
13 We'll talk a little more tomorrow morning when we have some
14 of the other diagrams on some other alternatives.

15 DR. DEERE: Right. Any possibility of getting copies of
16 those?

17 MR. PETRIE: I'll stamp them "draft," and give them to
18 you, yes.

19 DR. DEERE: Yeah, that'd be fine. I'll turn it back to
20 Clarence now.

21 DR. ALLEN: Where are we?

22 DR. DEERE: Ted is going ahead with his second topic.

23 MR. PETRIE: Okay. Now I'm going to talk about the
24 approach to waste isolation and our concerns there.

25 DR. DEERE: Oh, wait a minute. Weren't we supposed to

1 have the break now?

2 (Affirmative responses.)

3 DR. DEERE: Let's take a break.

4 DR. ALLEN: Reconvene at three o'clock.

5 (Whereupon, a brief recess was taken.)

6 DR. ALLEN: Yes. May we reconvene, please?

7 And, Ted, I guess you're still on.

8 MR. PETRIE: Thank you.

9 Now I'm going to introduce the waste isolation
10 approach, but before I do that, I was going to close out a
11 little bit on the effort to date, and we've shown you this
12 before, but I think it bears repeating. What we have is a
13 preliminary Title I design. A substantial amount of work is
14 needed before finalization of the design, and construction
15 starts, and this work will be done during Title II over the
16 next probably three years, and let me just say that this is
17 an opportune time for TRB and our other observers to provide
18 us with some insight into where their concerns are so we can
19 get them included into our Title II design and into our
20 thinking.

21 DR. ALLEN: We're trying.

22 MR. PETRIE: Very good, very good.

23 So anyhow, as somebody told me one time, he said,
24 "Petrie, you can use all the help you can get."

25 (Laughter.)

1 MR. PETRIE: Okay. Title I level of detail, again,
2 going back into this, the preliminary stage of project design
3 utilizes the conceptual design to go into the Title I. In
4 this case, we consider the exploratory studies, consider the
5 alternate studies as, in effect, a conceptual design, and we
6 need to have performed enough design work during the Title I
7 so we can get, really, design, construction, and cost--cost
8 and schedules. That's what we aim to do within the DOE.
9 That's what our major function is. But it does, as I said,
10 give us an opportunity to get thoughts from all walks of
11 life; everywhere.

12 Then I have just a few diagrams here, and I think
13 you've seen some of these; and really, all I want to show--
14 I'm just going to flash them up, take them down--and what I'm
15 really saying here is it should be clear from these that what
16 we've done is not something you can take and go build
17 something with. That's not where we are. That's at the end
18 of Title II, and as I say, I'll put them up, flash them up a
19 little bit, and especially on something like this, which is a
20 conveyor, and again, it should be obvious that this is not
21 the kind of a document you give to a manufacturer and say,
22 "Go build something," or a procurement man and say, "Go buy
23 it off the shelf." No way. These drawings are not in that
24 shape, but they are fine and good for what we want them for,
25 which is to get cost and schedule information, and get our

1 arms around the scope of the project.

2 So having said that, let's get into what the next
3 topic is going to be, which is the consideration of waste
4 isolation in the ESF. The programmatic guidance,
5 requirements, and regulations are included in 10 CFR
6 60.15(c). The project requirements are in the ESFDR. That's
7 our requirements document. It's about two inches thick and I
8 think most of you, or I know Ed and Russ have seen them. The
9 Q-list tells us which items are important to waste isolation,
10 and what we need to remember is the ESF is expected to be an
11 integral part of the potential repository. Therefore, we've
12 got to give it the same kind of considerations, to the extent
13 we can, that we would to the potential repository.

14 Some of the studies and considerations in progress
15 and to be completed during Title II are the following, and
16 they are the control of fluids and foreign materials--and we
17 have some discussions on that this afternoon--and some
18 additional items are those indicated here, and we also have
19 indicated the design phase, and when I'm talking about design
20 phases here, I'm talking about one through ten, and where we
21 would expect to have to have this pretty much under control
22 in order to be able to complete those designs.

23 So, for example, surface construction water
24 movement, we would have to have that resolved as to how much
25 water we're allowed to put on the surface before we can say

1 we have completed the design for Phases 1 and 2. And another
2 one might be, let's see, this one: Access and collar thermal
3 stress. We would need to have that completed before we could
4 say we had completed the design for Phases 2, 4, 5, 6, and
5 10. That could be the drifts. And the others are indicated
6 here. Again, this is preliminary, but this looks like when
7 we've got to have that work completed and for which phases.

8 And I don't think I'll spend too much more time on
9 these things. We're going to talk about them. That's the
10 Title II level of detail I've mentioned already, and the
11 major considerations for Title II. That is the verification
12 of design and design inputs, results which have occurred
13 during appropriate design phases, and incorporation of waste
14 isolation requirements into the design. All those will be
15 carried out during the Title II design phase.

16 So now I'm at a little bit of a loss. I don't know
17 who's next. Hemi, you're next.

18 DR. ALLEN: Let me ask, are there any questions from the
19 Board members or any staff?

20 MR. STREETER: Will Streeter, Parsons-Brinkerhoff.

21 I just wanted to confirm, the design phases you're
22 referring to are the one hypothetical illustration you had in
23 your last presentation?

24 MR. PETRIE: That's correct. It was the first one. The
25 one that went one through ten, I think.

1 DR. ALLEN: Okay, thank you.

2 MR. PETRIE: Okay. Then Hemi Kalia will talk to us
3 about introduction of foreign materials.

4 MR. KALIA: Thank you, Ted. Good afternoon, gentlemen,
5 Dr. Deere. As Ted said, I am Hemi Kalia. I work for Los
6 Alamos National Lab located in Las Vegas, and I'm responsible
7 for coordinating the ESF testing program.

8 The topic of my discussion is the use of, or
9 introduction of foreign materials in the ESF, by which I mean
10 any material which are other than native or the welded tuff.
11 As we do the construction, several materials--such as
12 concretes, steels, and so on and so forth--will be introduced
13 and it has always been a concern as to what we are going to
14 do and how we are going to manage those in this particular
15 project.

16 Requirements to manage the material have been
17 realized by the project office from the early days because of
18 the nature of the location, which is the unsaturated
19 hydrology in site characteristics where the fluids or
20 materials can potentially interact with the existing rock
21 formations and could result in getting erroneous data.

22 Other basis that exists for this requirement comes
23 from the Code of Federal Regulations 60.133, which basically
24 talks about post-closure performance and is concerned with
25 maintaining the site integrity. How we have to do that is we

1 need to understand what we are doing in the pre-closure phase
2 so that the materials used would not have an impact on the
3 waste isolation, would not affect the waste package behavior
4 or the site behavior. This information is then put into the
5 SCP under Issue 1.11, which talks about how do we go about--
6 what are the concerns and how we will handle this.

7 60.133, as I indicated, is a post-closure design
8 criteria which requires that the underground facility should
9 contribute to containment and isolation, assist the geologic
10 setting, and consider thermal and thermomechanical response
11 to provide sufficient flexibility. The concern, of course,
12 is the containment issue, and as Ted indicated in the last
13 presentation, that the ESF goes into the repository. We want
14 to assure ourselves that what is being done during the site
15 characterization phase would not in any way impact the site's
16 suitability in the future to be selected as the repository
17 site to contain the waste.

18 Issue 1.11 requires that we show compliance with
19 post-closure and design criteria of 60.133, and provide
20 information that allows us to resolve that particular issue.

21 As I indicated, during the construction, various
22 materials will be used, and these materials would, over a
23 period of time, react with the environment and could cause
24 adverse chemical effects because of their chemical reactions
25 with the materials use, such as concrete, shotcretes, grouts,

1 and so on and so forth. During construction, it is required
2 in the SCP, and also it has been an area of concern to limit
3 the use of water. It's a similar concern. Water will be
4 used during construction, during operations, and
5 decommissioning and the intent, of course, is to again assure
6 ourselves that there will be no negative impact on the site,
7 particularly the unsaturated hydrology.

8 This major concern exists during the site
9 characterization phase, because a lot of the information that
10 we are seeking would have to be with respect to unsaturated
11 hydrology. We want to make sure that the water that we do
12 intercept is, indeed, the water that was native, and not
13 something that was brought in during construction phase.

14 DR. DEERE: Could I interrupt, please? Don Deere here.

15 Could you go back two slides to the one that says,
16 "Materials"? I bring this up simply to mention that organics
17 apparently is of some concern because of their ability to
18 make some of the actinides soluble.

19 MR. KALIA: Yes.

20 DR. DEERE: And I wondered if this was the point that--

21 MR. KALIA: Yes, that is the point.

22 DR. DEERE: In one of our meetings Dr. North, you may
23 recall, was quite concerned about it, and felt that there
24 needed to be a great control during construction that
25 somebody didn't throw waste and things like this that might

1 eventually be a carrier.

2 MR. KALIA: Absolutely correct, and as I go through this
3 I will explain what project plans to do at this time in the
4 way of helping control mechanisms and control systems, so
5 hopefully that will not be the case. At least the effort is
6 to do that.

7 DR. DEERE: Thank you.

8 MR. KALIA: As I have indicated, it is somewhat
9 repetitious, but I do want to drive the point that there is a
10 potential impact from the materials being used. Again, the
11 chemical changes could affect the--construction and testing
12 could affect the data quality, which could impact the--
13 perhaps indirectly, waste isolation and the data might be
14 subject to some debate. We are concerned with the test-to-
15 construction interferences because, again, the construction
16 could have impact on the test data. We have concern with the
17 test-to-test where one test maybe is to inject water or some
18 other fluids, while other tests nearby could be impacted by
19 the test activities.

20 As I said, I have a little more on that. I think
21 basically, again, they could contaminate the unsaturated
22 formations. The organics may have the impact on post-closure
23 performance. It could alter the geochemical environment, and
24 affect the waste isolation capability.

25 It was, therefore--has been a concern to the

1 project as early as in '86, late '87. The Title I, earlier
2 Title I process project directed Los Alamos to look into the
3 fluids and materials that will be used during the
4 construction of the old ESF, and a study was conducted which
5 has been published, or the Los Alamos report for the project
6 we can provide you if you'd like to have it. It goes through
7 discussions and evaluation of the extensive details of
8 tables, listing all the materials that may be used during
9 site characterization effort, and their potential impact.

10 It also looks at the recovery of those materials.
11 Some can be recovered and, therefore, have less of an impact.
12 Some become an integral part and recovery is not possible.
13 It could have a potential impact.

14 For the current effort for the Title I process, we
15 were directed by the engineering group--again, Los Alamos was
16 directed to develop a management plan for the management of
17 the fluids and materials, tracers and so on and so forth,
18 within the ESF. The scope was broadened to look into use of
19 these materials during site characterization.

20 In addition to this plan, there are two
21 administrative procedures; AP 5.32, which is the test and
22 evaluation plans and a job package AP that requires that the
23 scientists who are going to conduct experiments must identify
24 actual material they'll be using, quantities, where they'll
25 be used, and so there are two places where these controls are

1 identified.

2 In addition, before a material is used, the project
3 office says you can use this material, or says, no, you
4 cannot use this material, based on what is being found by
5 analysis. So there are two plans that already exist, two of
6 the administrative procedures to guide this to some extent,
7 and then there's a management plan that we are developing for
8 the project.

9 The information that gets to the designer, in terms
10 of use of material, comes through the planning process, which
11 is guided by the AP 5.32, and it requires that you look into
12 the waste isolation capability of the site, that it will not
13 be compromised is a requirement from that AP; also, that for
14 the general arrangement, a review of the Title I package for
15 north and south, detailed test planning, and they identified
16 the constraints, such as dry mining for the purpose of
17 testing. They identified the use of tracers in water,
18 although it did not--and also in the water, although it has
19 not identified yet as to the potential impact of those
20 materials on the site performance.

21 The plan that is being developed will support the
22 approach for controlling the use of materials within the
23 Title II process. It has undergone two project reviews.
24 Comments are being resolved, and we hope to have this one out
25 by another three or four weeks as a project document. It'll

1 be used then for the management of the material.

2 The way we see it, the way it requires flow to
3 occur at this time is to develop a controlled database, which
4 is controlled by the project, which provides the listing of
5 all the fluids and materials, tracers to be used, the
6 quantities, locations, their compositions, along with the
7 interpretation of their potential impact, their site
8 characterization on waste isolation.

9 The way the information gets to this control
10 document, it comes out of--through the investigators
11 providing all the site characterization work. As the test
12 planning packages are developed under their effort, they
13 identify the quantities, types of materials they will be
14 using in their effort. We also realize that the design team
15 would identify materials such as steels and concretes and
16 rock bolts and whatnot they'll be using. Their material will
17 be identified from them, the potential interface with the
18 repository, as to their preference perhaps.

19 So all this information then moves to getting
20 analysis done, with these as being criterias: Is it a
21 potential impact to waste isolation? Will it potentially
22 affect the data collected in the test for the site
23 characterization effort? And I think the answer to both
24 would have to be negative before material makes the
25 controlled data list, or a approach to recover those

1 materials should it appear as a potential problem.

2 Under the controlled database, then, the components
3 are an inventory of all approved materials, and this will
4 include just about anything that will be used there: Any
5 impact on site characterization, any impact on post-closure,
6 all post-closure considerations; impact on waste isolation;
7 and constraints on use of material.

8 You have in your handout, also, which I would like
9 to point out just as a sample, just a compilation, a table of
10 the material I lifted out from the earlier Los Alamos report.
11 It talks about the type of detail that had gone in
12 developing that document, and I just want to show it for
13 illustration purposes and to point out that the project has
14 been sensitive to this concern.

15 If you look at the list, which is a very short
16 list, it looked at the anchors. These anchors will be used
17 during the plate loading test with the multipoint
18 extensometers. It has material such as spray paint that may
19 be used to mark the walls, perhaps, for study points or some
20 other purposes. It includes use of water for dust control.
21 They have gone into identifying surface use of water,
22 underground use of water and this type of information.

23 I sort of switched gears here just a little bit to
24 talk about a apparatus that was also designed at the same
25 time. It was to inject a tracer into the water, main line

1 water which was going to go to the--for the underground use
2 in the ESF. It's a relatively simple device to inject
3 tracers. The target was to get a tracer concentration of
4 about three parts per million, and really simplistically,
5 it's strictly a 100 gallon tracer reservoir with a metering
6 pump, some pump controllers, signal converters and flow
7 meters and whatnot, and bring the material to a surge tank
8 where they are then fed into the main water supply system.

9 The device was tested at Los Alamos and found to be
10 adequate to maintain the concentration about 20 parts per
11 million, and we tested that in waves, discharge waves. It is
12 a prototype device which is currently stored at--I believe it
13 was moved to a warehouse for safekeeping, but should we
14 choose to use this I believe it will need to be probably
15 scaled up for new use, to a two-shaft condition. Basically,
16 the large chamber, the reservoir, some controls, and then the
17 discharge end. So it's a portable device, simple, you know,
18 nothing very fancy about it.

19 The work that was performed earlier on by--I guess
20 I would like to make this very clear, really, that in the
21 earlier effort that was done to understand the impact of
22 fluids and materials, the basic conclusion was that they did
23 not see anything that will impact the waste isolation
24 capability or the data as long as we manage the water
25 controls for testing for that basically hydrologic impact on

1 the site.

2 The basic conclusions of the report, was that based
3 on information currently available, the use of fluids and
4 materials in the ESF will not have a significant impact on
5 the site characterization data or on the ability of site to
6 isolate nuclear waste from the environment. It also
7 indicated in the vicinity of selected site characterization
8 tests, the use of water should be controlled to minimize
9 adverse hydrological impacts. And the conclusion they had
10 arrived at was the use of hydrocarbons or solvents
11 underground should be minimized.

12 In addition to the list that you see as a control
13 in the controlled data, an additional list would exist from
14 the environmental perspective, environmental safety and
15 health concern on toxics, hazardous waste that may be used in
16 the site.

17 So in summary, then, I want to indicate that the
18 project has been sensitive to the requirements of both the 10
19 CFR 60.133, which are addressed to the Issue 1.11. It has
20 diligently made efforts to develop methods and controls to
21 allow it to control the use of introduction of foreign
22 materials, and in the Title I effort, through the test
23 planning process, at least for the ESF, effort has been made
24 to identify the impact on testing through the use of waste
25 materials, and either by allowing adequate separations of the

1 tests, or by using tracers and controls. We have tried to
2 address that concern.

3 The current plans which once the management plan is
4 approved, should that be the case, it would result in
5 developing a controlled database which probably would require
6 developing a procedure into how to get the material into the
7 controlled database, and all the material used in the site
8 characterization effort would then go through the controlled
9 database, which will provide information with respect to
10 quantities, locations, types of materials, and composition
11 that are authorized to be used. If a material is not in the
12 list, I believe it probably would not be considered for use
13 in the effort.

14 That is basically my presentation. Are there any
15 comments or questions?

16 DR. ALLEN: Any questions from the Board or staff?
17 Russ?

18 MR. MCFARLAND: A question of clarification; perhaps
19 Carl. Is the drift in the Calico Hills being looked at any
20 differently than the drift at the proposed repository level?

21 MR. GERTZ: I'll pass it on to Ted. I see he's ready to
22 do it.

23 MR. MCFARLAND: It'll never be part of the operational
24 area. It won't fit the GROA definition of NRC. I've
25 pondered that. In listening to Kalia on this, it--

1 MR. PETRIE: Well, it will not be a part of the GROA.
2 One still has to consider the impact on waste isolation, so
3 to say it's being treated differently, I say that it could be
4 if it was found to be, for some reason, appropriate to do
5 that, to treat it differently from a construction viewpoint
6 since it is not going to be a part of the GROA. From a waste
7 isolation viewpoint, you know, that will be treated the same.

8 MR. MCFARLAND: But in terms of QA documentation
9 control?

10 MR. PETRIE: Well, the same controls, yes. QA would be
11 the same. I don't see any difference there.

12 MR. MCFARLAND: Thank you.

13 MR. PETRIE: But if there were some stresses or thermal
14 stresses one were to try to take into account in the Topopah
15 Springs level to try to assure ourselves the repository in a
16 GROA would be satisfactory, those same things might not
17 apply--I stress "might"--to the Calico Hills.

18 MR. MCFARLAND: Thank you.

19 MR. KALIA: From testing perspective, Russ, we are doing
20 the same thing. We are certainly concerned about Calico just
21 as well in the main test level, on test-to-test interference
22 or test-to-construction interference, and the use of tracers
23 and other controls we'll impose just as we'll do in Topopah.

24 Dr. Deere?

25 DR. DEERE: Yes. I wondered if you've considered the

1 possibility that there might be some exploratory drilling
2 done from the lower drift in the Calico Hills? Do you see a
3 restraint drilling into the saturated zone, and even a little
4 deeper?

5 MR. KALIA: From Calico?

6 DR. DEERE: Yeah. I guess the first question, do you
7 have any in the program at the moment?

8 MR. KALIA: None that I know of. We just have a couple
9 of holes below--not within the ESF.

10 DR. DEERE: Yeah. Within the ESF I was thinking.

11 MR. KALIA: Yeah; not within the ESF.

12 MR. GERTZ: I know of no plans to drill from the ESF
13 into saturated zone. We do have drill holes that will go
14 into the saturated zone within the repository perimeter, I
15 believe, but...

16 MR. KALIA: Not in the ESF.

17 DR. DEERE: This would be frowned upon? I mean, if
18 there were--

19 MR. GERTZ: Sure. You don't want to create preferential
20 pathways to the saturated zone.

21 DR. DEERE: Simply because you're getting a vertical
22 pathway down into the saturated zone.

23 MR. KALIA: A lot of concerns were raised when the shaft
24 in the ESF was going down towards Calico, and a lot of
25 objections were raised as to, or concern as to we are

1 creating a preferential pathway, and that's where we backed
2 off and put a multipurpose borehole to try to get the
3 information, so I don't believe that we'll intend to really
4 penetrate Calico within the ESF boundary.

5 DR. DEERE: Yes. I anticipated that would be your
6 answer. I just wanted to check. I just saw a potential
7 there for--

8 MR. GERTZ: Yeah, well, that's one of the reasons you
9 see some of these ramps that are going around the perimeter
10 of the repository, rising into the Calico Hills. That's why
11 many of our ESF alternatives that had direct pathways were
12 looked on with less favor for capability to isolate waste,
13 because they created pathways from Topopah Springs to Calico
14 Hills.

15 DR. ALLEN: Other comments or questions?

16 (No audible response.)

17 MR. KALIA: Our next speaker is Merton Fewell from
18 Sandia. He's going to talk about the calculations and
19 analysis that will go with this.

20 Thank you.

21 MR. FEWELL: My name is Merton Fewell. I'm with Sandia
22 Albuquerque, and I want to talk about the control of fluids:
23 the role of performance assessment, and this is meant to
24 complement the talk that Hemi just gave in that there will
25 have to be some evaluations done to determine what the

1 impacts of tracers, fluids and materials are on a repository
2 performance, potential repository performance, on a test-to-
3 test interference, et cetera.

4 The way we think of this is the control process
5 that Hemi just described is sitting in this box. The user
6 community, the A/E's, the designers, testers and repository
7 considerations, et cetera, will make a request to the
8 tracers, fluids, and materials control group to use a
9 quantity of materials or fluids, and the question will have
10 to be asked, "What quantity can be used, and what's the
11 location?" The first question that will be asked is, "Has PA
12 evaluation been done?" If the answer is no, then there will
13 have to be a PA evaluation, and if the answer is yes, then
14 there should have been controls that had been put in place
15 from the PA recommendations, but before these controls can be
16 done, the PA evaluation will have to be done to quantify.

17 Now, the identification of controls is not just the
18 PA effort alone. It's an integration between the ESF, the
19 design, construction, and testing; the repository design,
20 construction, operation; surface-based testing; and PA
21 analyses, and these interactions or integrations can occur in
22 several different ways. One is PA analysis will need to know
23 something about the design, construction, and testing before
24 we can do analysis. Once we've done analyses and have
25 results, we have to put those in terms that the users can

1 use.

2 At a higher level, there must be a budgeting of
3 materials or fluids such that the total use by all the users
4 that would use the material or fluids is such that a limit is
5 not violated, so there has to be some integration in that
6 sense, and there has to be forward-looking such that, for
7 example, a design consideration or construction, when your
8 road watering doesn't use up the entire budget and there's
9 not any budget left for water use for, say, surface-based
10 testing.

11 Now, the way you might look at this is that there's
12 a cycle or a site characterization engine in which there's
13 project resources fit into, and the knowledge of the site, or
14 knowledge of the site is needed to design and construct and
15 test the ESF, is also needed for surface-based testing. That
16 information is also needed to do a PA evaluation. The PA
17 evaluations are needed in order to design and construct and
18 test the ESF and for surface-based testing. From that will
19 become a greater knowledge of the site, and this will
20 continually--to iterate our cycle until we reduce the
21 uncertainties.

22 This didn't come out too well. What this is meant
23 to be is the uncertainties of our ability to understand the
24 site is composed in two different components. One is the
25 data, parameters and values, and the other is conceptual

1 processes and events. As the preparation of the ESFDR
2 started, the uncertainty is level, or we have not reduced the
3 uncertainty. When this site characterization engine
4 continues to iterate such that PA impacts design, design
5 impacts PA and testing until--and we continue to revise the
6 ESFDR, lowering the uncertainty until we do surface-based
7 testing, which further lowers the uncertainty. The
8 construction of the ESF will, and finally, testing, until it
9 hits some acceptable level, and that's the role that I see of
10 performance assessment in this process.

11 Now, on the top, I'd like to break it down into
12 three parts. One is we have devised a plan for support of
13 the ESF Title II design. I'm going to talk about analysis
14 that are required to support the control of fluids that are
15 the result of this plan, and I want to discuss a few--two, in
16 fact--specific analyses that recommend--and recommendations
17 that support control of fluids.

18 The motivation or the purpose for coming up with a
19 PA plan for Title II design support was twofold. One was to
20 address NRC Objection No. 1 for design control, and another
21 was to implement and aid in long-range planning and
22 utilization of resources.

23 Many of these PA evaluations or analyses are such
24 that current technology does not allow us to do them. We
25 need to get as far in advance and project as far in the

1 future so that we--when the time comes to support the
2 controls for the materials and fluids, that we have a PA
3 evaluation, or the capability to do that.

4 This design control, the objections will be broken
5 down in three parts. It must consider 10 CFR 60
6 requirements. It must recognize the need for integration
7 between participants responsible for design, construction,
8 performance assessment, and operation, and the DOE should
9 demonstrate the ESF design control process has provided for
10 systematic review and consideration of 10 CFR 60 requirements
11 in the development of the ESF design, and for verification
12 that these requirements have been, in fact, incorporated into
13 the design. That's the motivation for coming up with a plan.

14 The elements of the plan that resulted for Title II
15 is identification of the 10 CFR 60 requirements that are
16 applicable for the design operation and construction of the
17 ESF; the linkage between these requirements and the ESFDR,
18 the ESFDR being the working document that we will use to show
19 compliance, and which the designers, operators, and
20 constructors will use as guidance for implementing the 10 CFR
21 60 requirement; a linkage between the 10 CFR 60 requirements
22 and analyses that are required to support the controls of
23 fluids and other--and all of compliance with 10 CFR 60, and I
24 might note that analysis is used in this to be a very broad
25 term. It might be evaluations, it might be experiments, it

1 might be expert opinion, or it might be complex numerical
2 calculations.

3 Another feature of this plan is to integrate it
4 with the design schedule such that the design schedule is not
5 held up by the performance evaluations, and then to identify
6 some products and methods of evaluation. The primary product
7 of this plan will be periodic SAND reports, and update of the
8 performance assessment appendix to the ESFDR, which will
9 present results and recommendations for addressing concerns
10 in the ESFDR requirements.

11 And also, identification of resources. By
12 identifying the types of analyses that will be needed, it can
13 be used to plan what organizations should be doing the
14 analyses, et cetera. And then to apply the results of the
15 analyses to the final compliance review to show that, in
16 fact, we have complied with 10 CFR 60 requirements with
17 evaluation.

18 And last is a implementation/integration of PA, and
19 this has been done primarily through the TIG, the Technical
20 Integration Group
21 for the ESF on an informal basis. There is also a sub-group
22 of the TIG that is for control of materials and fluids. The
23 primary emphasis in that group early on is to identify the
24 fluids and materials that may be accurate such that we can
25 get an early idea of how to do the analysis.

1 If you look at this schematically, your plan is
2 broken down like this. There's the 10 CFR 60 requirements
3 that apply to the operation, construction, and design ESF.
4 These relate to constraints and performance criteria in the
5 ESFDR. From those performance criteria and constraints, we
6 can define analyses that will address the concerns, and these
7 analyses can be grouped such that there's a linkage between
8 the 10 CFR 60 requirements, the requirements in the ESFDR,
9 and analyses. So by doing the analysis, the results of the
10 analysis relating back to 10 CFR 60, it also relates back to
11 the ESFDR, and it also relates back to 10 CFR 60
12 requirements.

13 In doing that type procedure and the way that was
14 done is the 10 CFR 60 requirements and the language
15 associated with those 10 CFR 60 requirements that apply to
16 the ESF were compared to the language in the ESFDR, and the
17 linkage was made with the ESFDR between the 10 CFR 60 and the
18 ESFDR.

19 Going from the other direction, the ESFDR
20 requirements were examined and reviewed to determine what
21 analysis would be required to address the concerns. But in
22 so doing, the 10 CFR 60 requirements and the accompanying
23 ESFDR requirements were grouped in three groups: Those in
24 which there's no PA analysis required; those in which
25 required PA analysis; and those which would be satisfied or

1 roll-ups of satisfying lower level requirements.

2 From that, analysis categories were defined as
3 fluid flow, geochemistry and materials, thermal/structural,
4 and total systems. The analysis categories that apply to the
5 control of fluids are the first two, although
6 thermal/structural and total systems could be, in a coupled
7 sense, could apply, because thermal/structural or thermal
8 effects, structural effects might cause preferential pathways
9 to be opened up. Then you'd have a fluid flow problem and
10 then a total systems problem. But it's primarily the first
11 two.

12 Now, some examples of--or sample ESF requirements
13 related to the control of fluids are given in the next
14 overhead, and this is a view out of the database that exists
15 that takes all 337 of these requirements and links them with
16 10 CFR 60 requirements, links them with analyses, types;
17 links them also with the results of analyses that have been
18 completed to date, and these are such that 10 CFR 60
19 requirement 60.15(c)(1), and the accompanying ESFDR
20 requirement from the revision, 7/29/91, says: "Review
21 materials for substance effects on EBS & waste isolation."
22 There is one that says: "Assess impacts of materials and
23 support components on waste isolation; control all substances
24 and tracers added to water and compressed air; use of
25 hydrocarbons and solvents comply with criteria determined by

1 PA; limit use of water; seals shall not compromise ability of
2 site to meet performance goals."

3 Now, I'm going to show some examples of
4 calculations we did that relate to this requirement later on
5 in the talk, in the third part of the talk. The next
6 overhead complements this one and it shows the analyses that
7 have been identified that will address the requirements that
8 I just showed. This LBL or label on the left-hand side is
9 the correspondence between the two overheads.

10 This category is fluid flow, geochemistry and
11 material, thermal/structural, and total systems. I will
12 describe what this nomenclature means. It means that Label
13 171 has a couple of fluid flow-type analyses that will be
14 required to address those concerns. These--and I will
15 describe that in a moment--these geochemistry and materials,
16 which is Category 2, it says there's sub-category (i) and
17 (ii) will need to be addressed, these concerns, and four, to
18 address these concerns in the requirement. Label 301,
19 there's also thermal/structural requirements or analyses that
20 will be required, and total systems calculations may be
21 required for those.

22 Now, what I'd like to do is start the second part
23 of the talk, which will describe in a little bit more detail
24 what these analyses are that are required to--but first, I'd
25 like to summarize the PA plan.

1 It's a flow-down from 10 CFR 60 requirements to
2 ESFDR requirements to analyses that will support and address
3 the concerns. It provides PA integration with test planning
4 and work authorization process. It's dynamic--maybe a better
5 word for that is adaptive, such that as the designs change,
6 as more site data becomes available, and as I understand it,
7 conceptual models change, we should be refining the analyses
8 such that it reflects that, and that's also a statement
9 that's encompassed in this last bullet that talks about the
10 PA analyses are ongoing and iterative, and that they should
11 continually be refined as information becomes more available.

12 Now, to talk about the--in a little more detail
13 about the types of PA evaluations that were needed in support
14 of control of fluids, I'll talk about that in this section.

15 This is a list of the types. In the fluid flow
16 category, it's broken into isothermal subsurface flow, non-
17 isothermal subsurface flow, and floods and runoff on surface.
18 Isothermal subsurface flow is ESF-related alteration of
19 surface infiltration. The second one is localized--it is
20 similar to this, although it's localized. Alteration of near
21 surface hydrologic properties by ESF activities. I'm not
22 going to go through all of these.

23 I want to get down to the geochemistry and
24 materials one, in which primarily require reactive
25 contaminant flow and transport. These may contain some of

1 these analyses up here, but none of these analysis types up
2 here will contain contaminant transport. In other words,
3 these are not as complicated analyses as the ones that's
4 below. So the reactive--the geochemistry and materials
5 analysis, canister corrosion is one in which the introduction
6 of foreign materials or fluids may corrode the canister and
7 break down the engineered barrier system in a period of time,
8 and that has to be studied. That would primarily be probably
9 a Lawrence Livermore function.

10 The next is chemical reactions with the source,
11 which from a PA calculation point of view will alter the
12 source term which would be used in the PA calculation. That,
13 again, is probably Lawrence Livermore.

14 The third one is a fairly encompassing one in which
15 you're looking at far-field type analysis in which the
16 isothermal fluid flow which incorporates infiltration of
17 surface would be part of--you introduce a fluid at the
18 surface, or material, and you see how far it migrates, and if
19 it alters the repository, the performance of the repository.
20 Also encompassed in this are exploratory shafts that might
21 penetrate to certain depths, and what are the effects of
22 those on the repository performance. Boreholes are another
23 instance of this. Shafts, or ramps that access at an angle
24 are also a sub-category of this, or are included.

25 And the last one is the zones of influence or test

1 interference, ones in which the introduction of a material or
2 a fluid in a region, and you want to know how far and what
3 extent does this modify the surroundings, and the components
4 of the zone of influence might be combustion products,
5 construction drilling excavation effects, neighboring test
6 dust control additives, wall cleaning, water, et cetera.

7 Now, those analyses--I should point out that there
8 may be many, many analyses associated with those types, but
9 those types of analyses encompass what we feel are needed to
10 address the concerns in complying with 10 CFR 60 for control
11 of fluids.

12 Now, the third part I'd like to talk about, a
13 discussion of specific analyses and recommendations that
14 support control of fluids. There are certain attributes of
15 these analyses. One can question their validity because we
16 don't know all the physical processes and mechanisms that are
17 active at Yucca Mountain. Our conceptual models are no
18 better than our understanding. They're the ones that
19 reflect--that are implemented, and these are the ones that
20 reflect the widely used understanding of the physical
21 processes and mechanisms, and we have very limited site
22 characterization data at this time.

23 These analyses were done under quality assurance,
24 as implemented by Sandia's QA plan, and they should be
25 ongoing to incorporate configuration change, additional data,

1 integral part of the design process--which has been discussed
2 before--and also for testing. So we don't view these as
3 being necessarily the final answer. They should be
4 continually improved.

5 Now, I think there needs to be some understanding
6 of what has to happen if you're going to do a quality level
7 analysis, and perhaps some of the time constraints that are
8 involved. What this flow chart shows is starting from the
9 ESFDR requirement, how you flow through and finally get
10 conclusions, provide criteria, or you have to iterate back
11 and then start the analysis over. The shaded boxes are
12 intended to indicate where there should be a lot of
13 collaboration with the designers and testers, et cetera, in
14 defining the analysis and in providing criteria to make sure
15 that you're providing criteria that can be used by a designer
16 or a constructor.

17 For example, if a hydrologist draws a conclusion
18 that the saturation increase surrounding a test is only 5 per
19 cent, that doesn't do a designer much good, because they
20 can't measure saturation very well. What they'd like to know
21 is, how much water can I use before I cause test-to-test
22 interference or I violate the ability of the site to safely
23 store waste?

24 So this process starts, and you define an analysis.
25 A decision is made. If the analysis is complex enough you

1 need software, you have to determine, is the software I'm
2 going to use, is it QA? If it's not QA, I have to go through
3 a QA procedure to QA the software. I have to define the
4 problem, which encompasses a problem definition memo in
5 Sandia's implementation of it. This problem definition memo
6 describes the analysis, the input, the products of the
7 analysis, the method, the computer codes that would be used,
8 and a schedule.

9 There has to be a technical review both of the
10 problem definition memo and of the calculations and analysis
11 that come from the results of the analysis, and also, the
12 conclusions. If, anywhere in this process, there has to be a
13 change in the analysis of input or you run into any numerical
14 problems, et cetera, you have to go back up through this loop
15 and come back through and rewrite the problem definition
16 memo, et cetera.

17 Once your conclusions are drawn, the question has
18 to be: Does this provide adequate criteria for the
19 customers? If it does, it's incorporated in the ESFDR. If
20 it's not, you extend the analysis and go back another loop.
21 If you can't extend the analysis, you may have to define
22 further analysis, which include other participants.

23 I'd like to close with a couple of examples.
24 Analysis No. 1 relates back to--this is one in which we're
25 putting water on the surface and want to know what the

1 impacts of that. That relates back to Ted's talk when he
2 talked about the--I think that was Concern No. 1 or List No.
3 1 about water use on the surface. The 10 CFR 60.133(d) is
4 the requirement, NRC requirement. That's control of water
5 and gas. The design of the underground facility shall
6 provide for control of water or gas intrusion. The ESFDR
7 729.91 version of it is 1.2.6.1 Constraint, F.i. It says:
8 "The amount of water used in site preparation and operations
9 should be limited to that required for sanitation, dust
10 control, compaction of engineered fill material, et cetera."

11 Now, from that, a analysis was defined, and it's
12 purpose was to provide numerical criteria for limiting the
13 amount of water that can be placed on the surface above the
14 repository and for determining the lateral extent of this
15 water.

16 Now, that doesn't say anything about how much you
17 use for dust control on roads, how much you use for surface-
18 based testing, how much you use for repository construction,
19 et cetera. It said, "Limit the amount of water that will be
20 used." We posed a problem in terms of how much water can you
21 put into the surface before you cause degradation of
22 repository performance.

23 The model that was used, this depicts a one-
24 dimensional model. We actually did a one-dimensional and
25 two-dimensional and compared the results, and there was

1 collaboration between one and two-dimensional results. This
2 is intended to indicate the hydrogeologic model that was
3 used. There was a Tivah Canyon unit, Paintbrush Tuff. There
4 were two welded and non-welded Topopah Springs and the Calico
5 Hills. The composite porosity model was assumed; equilibrium
6 between fractures and the matrix were assumed; and
7 characteristic curves were used.

8 The problem was posed, is to place upon the known
9 depth on top of the mountain and see what the effects of that
10 known amount of water is once it's infiltrated into the
11 mountain. The intent was, is to measure the performance, and
12 the criteria for measuring the performance was, is the
13 groundwater travel time less than a thousand years, or is
14 there limitation of radionuclides that can reach the
15 accessible environment in 10,000 years? Those related to the
16 10 CFR requirements, 10 CFR 60 requirements for repository
17 performance.

18 The next overhead shows the results, which if you
19 plot the change in the repository horizon saturation during
20 10,000 years resulting from surface water addition as a
21 function of the water added, you can see that there's a
22 dramatic change in repository performance from in situ values
23 at about 16 cubic meters per square meter, or 16 meters of
24 water. It's equivalent to a pond sitting on top.

25 If you look at the results, the groundwater travel

1 time dropped below a thousand years only when it was
2 somewhere in this region here. At that point, the entire
3 repository had been saturated for years and years and years,
4 so we felt that that was not a conservative enough constraint
5 to apply on the effect on repository performance.

6 We further made the assumption, rather than going
7 into complicating this analysis with source term
8 calculations, we would be conservative and see if this posed
9 a limitation on the operation or design of the ESF. So we
10 said--we made the assumption that before it could have an
11 affect on the repository performance, you had to increase the
12 saturation at the repository horizon. So with that
13 assumption, we limited the amount of water that could
14 infiltrate the mountain to 16 meters.

15 So our conclusion is 16 cubic meters of water per
16 square meter of disturbed area can infiltrate the mountain
17 without increasing the saturation at the repository horizon
18 within 10,000 years. Our recommendation is to limit the
19 placement of water on the top surface of Yucca Mountain above
20 the repository block to two gallons per square yard per day
21 continuously applied over a five-year period, and it turns
22 out that that's 16 cubic meters per square meter.

23 Now, after presenting this to the ESF designers,
24 this statement of this turns out to be a problem, because,
25 really, results of analyses says it's how much water that

1 gets into the mountain over a relatively short period of
2 time--five to ten years--in comparison to 10,000 years is a
3 short amount of time.

4 This statement's interpreted to mean that I cannot
5 violate two gallons per square yard per day, and so by
6 interacting with the A&E's, we restated this recommendation
7 and said a goal that if you average two gallons per square
8 yard per day over a five-year period, you will not exceed the
9 16 cubic meters per square meter.

10 DR. DEERE: Question. Do you feel pretty strongly about
11 that?

12 MR. FEWELL: Yeah. I feel pretty strongly because of
13 this next view graph.

14 DR. DEERE: Okay.

15 MR. FEWELL: There's a lot of conservatism put into
16 that, and first of all, I should qualify, with our present
17 understanding of what--or accepted understanding of what the
18 conceptual models are, yes, but we took no--we said limit the
19 amount of water that's applied to what we said, infiltrated
20 amount, so that's a very conservative interpretation of that.
21 It doesn't take into account any evapotranspiration, any
22 runoff, any down-dip, any climatic change, which could be
23 conservative or non-conservative.

24 It also does not take into account, just because
25 water gets to the repository horizon doesn't mean that

1 there's a negative effect, a positive effect, or an effect on
2 the repository performance. We assumed there was. So these
3 two statements add a lot of conservatism to the results. And
4 we also collaborated, as I mentioned before, with two-
5 dimensional analyses.

6 Okay. I'd like to talk about one more example
7 calculation. This has to do with surface ponds, and this has
8 to do with 10 CFR 60.133(d), additional design criteria for
9 the underground facility, control of water and gas shall
10 provide for control of water or gas intrusion. And the ESFDR
11 sections that relate to this, it says: "Fluid recovered
12 during construction or testing operations shall be disposed
13 of in such a way as to avoid potential for performance
14 impacts," and it also says that the location of waste
15 disposal system away from the perimeter block must be
16 determined by a performance assessment.

17 So an analysis was defined that looks at sewage and
18 settling ponds, and wants to estimate the potential for water
19 leakage from settling ponds and muck storage area, and
20 discharged from the sewage pond system to interfere with
21 experiments conducted in the ESF.

22 A two-dimensional analysis was done, using a finite
23 element code, NORIA, which incorporated the same conceptual
24 model as I described before in Analysis No. 1, in which a
25 surface pond was placed on top of the mountain at the Title I

1 design location, the Title I design area, and the Title I
2 design depth of pond. That pond was allowed to stay there
3 for five years, and at the end of five years, the boundary
4 condition relaxed back to in situ infiltration at the
5 surface.

6 The calculation was continued for 10,000 years to
7 trace the movement of this pond--the water that came from
8 this pond, and the area outlined in red is inclusive of all
9 the water that was--that had infiltrated the surface and had
10 dispersed throughout the formation in 10,000 years. As you
11 can see, this area here is the perimeter block boundary.
12 This is the repository horizon, and the--in 10,000 years, the
13 water had just penetrated Upper Topopah Springs unit.

14 So the conclusion from that analysis is that water
15 leakage from ponds on the Title I muck storage area and
16 discharged from the sewage pond system have no effect on the
17 saturation at the repository horizon and will not interfere
18 with experiments conducted on the ESF. The recommendation
19 is: "Locate muck and sewage ponds off the repository block."

20 In summary, I'd like to reiterate we feel that the
21 role of PA in fluid control in the ESF is ongoing, integral,
22 iterative, and will result, if we do it, in a continuously
23 refining and will result in refined PA capabilities for
24 performing PA calculations in support of the repository
25 license application.

1 A plan for implementing PA support of the control
2 of fluids in the ESF was discussed. This plan is the
3 mechanism for showing compliance with 10 CFR Part 60 of the
4 Title II design. And I described some analyses that are
5 necessary to show this compliance and discussed some examples
6 of these analyses.

7 I'd like to make one recommendation that I think is
8 pretty necessary here, and that is to build on the test and
9 evaluation plan to develop a budget and allocation process
10 for fluids and materials to include all usage during site
11 characterization and to the extent necessary for potential
12 repository construction and operation.

13 By the word "budget," I mean by PA calculations, we
14 determine how much can be used or applied as a function of
15 space and time, perhaps. That has to be apportioned between
16 all the uses that are going to apply to a given material or
17 fluid. If we don't do that, we'll get ourselves in a
18 situation where something that precedes in the design or
19 construction or testing process could use all of the budget
20 up for material, and give us no ability to operate that
21 budget.

22 That concludes it. Any questions?

23 DR. ALLEN: Thank you.

24 Are there questions from the Board; staff;
25 consultants?

1 DR. CORDING: Ed Cording.

2 These are--these models are, again, a matrix flow?

3 Are they assuming that the flow is matrix flow?

4 MR. FEWELL: No. They assume that--the composite
5 porosity model, which means the fractures only become active
6 as you approach saturation of the matrix. So they're not
7 strictly--it depends on where you are in the saturation. If
8 you're at low saturation, it assumes that equilibrium is at
9 saturation of--well, it doesn't assume that. I mean, that's
10 the results of...

11 DR. CORDING: There was a model that was described to us
12 a few meetings ago where we were looking at the combination
13 of joint and matrix flow. Is that the sort of model that's
14 being included in this type of assessment? I'm trying to
15 recall the gentleman that did that.

16 MR. FEWELL: Was that Tom Buschek?

17 DR. CORDING: Yes.

18 MR. FEWELL: That's a different model. It showed
19 different results.

20 DR. CORDING: Would that be the sort of model that you'd
21 be putting into this type of a--

22 MR. FEWELL: Well, I think there should be sensitivities
23 to determine which regime each model is applicable in and
24 from site characterization, where we are. The results of
25 that model, you can show that with a continuous pond at the

1 surface, you can get very rapid flow through fractures all
2 the way, but we don't know which model is applicable at the
3 present time.

4 DR. CORDING: I think the model was certainly a
5 simplification, because it didn't involve a lot of different
6 layers, but just in terms of the integration of joint and
7 matrix flow, it was--

8 MR. FEWELL: Yeah, that's a different model.

9 DR. CORDING: Yeah. Thank you.

10 DR. ALLEN: Any questions, comments from the audience?

11 (No audible response.)

12 DR. ALLEN: Okay. Let's move ahead, Ted.

13 MR. PETRIE: All right. The next speaker will be Steve
14 Bauer. He's going to talk to us about thermal structural
15 effects on underground excavations.

16 MR. BAUER: I'm Steve Bauer from Sandia Labs, and I'll
17 be talking about thermal and structural effects on
18 underground excavations.

19 I'll begin today with a general description of our
20 work, and try to tell why that work is important to the ESF,
21 followed by a description of the extent of the work thus far
22 completed for--or completed for Title I. The results, I'll
23 talk a little bit about the results and their sufficiency in
24 regard to Title I, and then the planned work for Title II,
25 and end with a schedule to complete that work.

1 The type of work that we're involved with is the
2 development and application of methods for thermal and
3 structural analyses of underground excavations, and the types
4 of analyses that we seek to do in the immediate future to
5 support the ESF effort are 2-D analyses of underground
6 opening cross sections, 3-D analyses of underground
7 intersections, and 3-D repository scale conditions analyses,
8 and I'll talk more about them in a minute.

9 This work is important to the ESF because ESF
10 excavations and--certain ESF excavations and regions are to
11 become part of the potential repository, and because of that,
12 we need to show compliance in Title II with the requirements
13 of 10 CFR Part 60.

14 Thus far, the work we've completed for Title I is
15 detailed in the ESFDR, Appendix (i) that Mert talked a little
16 bit about, and these three sets of analyses are, at a
17 minimum, summarized in that report; the far-field thermal
18 effects for the repository vicinity have been predicted.
19 Shaft and collar thermal stresses have been predicted, and
20 the potential for creep has been assessed. Now, keep in
21 mind, of course, that these analyses were done in the context
22 of the design that's in the SCP/CDR.

23 Next, I'd like to move on and talk about some of
24 the results and their sufficiency in regard to the Title I,
25 and as I said in the beginning, you know, part of the results

1 that we're obtaining is the development of analysis methods,
2 along with preliminary analysis results using those methods.

3 In the area of thermal and structural analyses,
4 we're pursuing the following analysis methods: 3-D
5 thermoelastic, finite element, distinct element, and one
6 which I left off, boundary element methods, and I'm going to
7 briefly talk about two of these methods and some of the
8 applications that we have obtained to date with them just to
9 show the types of results we can obtain.

10 For the 3-D thermoelastic, for that we are limited
11 to a single homogeneous isotropic material with a constant
12 set of thermal and structural properties. By constant, I
13 mean it's not allowed to vary with temperature, time, et
14 cetera. And another attribute of that method is that we're
15 allowed exponentially decaying heat sources.

16 Other inputs that are required for this analysis
17 method is that we need a layout of the ESF and repository
18 facility. We need to know where the locations are of drifts,
19 intersections, et cetera, that are to become part of the
20 repository. We need to know the time sequence waste
21 emplacement scheme for the repository. That's how we
22 generate the thermal loads in the analysis.

23 And, of course, what we're allowed to calculate
24 with this method are the stresses, strains, and temperatures
25 as a function of time and position, and what we'll do, what

1 we do at the onset is we tell the code where we want to
2 obtain results, where and when we want to obtain results;
3 either a line in space or a plane in space.

4 As an example of the type of results we obtain,
5 these are temperatures plotted as a function of horizontal
6 distance from what's called here a midpanel access drift.
7 It's a drift for the CDR design for which we would access
8 emplacement panels, and what's plotted are temperatures at
9 four different times perpendicular to that access drift. And
10 one of the things that was important in doing that analysis
11 was what are the temperatures as a function of time? Another
12 thing that's important is what are the stresses in the
13 vicinity of that drift as a function of time? And, of
14 course, both of these would be important in determining what
15 type of ground support system we may put in.

16 And here, just to show an example of utilizing
17 temperatures to drive a structural model, here we calculate
18 stresses at two different times; here at excavation, and at
19 100 years after heating began. You can look in detail to see
20 how the stresses change at these two different times.

21 On a much larger scale, other information that we
22 can obtain from this type of analysis--again, this would be
23 looking at a region that would, of course, become part of the
24 repository with time--is what and how does the state of
25 stress on many of the structural features here, the Ghost

1 Dance Fault, how does the stress stay changed as a function
2 of time as the repository is heated? And what's plotted here
3 is a factor of safety per slip at three different times:
4 prior to waste emplacement, at 100 years, and at 10,000
5 years, and the zone in here, we see high values for the
6 factor of safety or slip. Of course, where the heated area
7 of the repository is, very high horizontal stresses are
8 generated locally, so the chance per slip is, of course,
9 decreased in this region because the normal stresses on these
10 faults has increased.

11 And moving on to a second and final analysis method
12 that I'll talk about today, is the finite element analysis
13 that we're doing. Most of the work we've done this far is in
14 two dimensions, and we're very close to being able to do 3-D
15 analyses routinely. Within the next six to twelve months,
16 we'll be able to do non-linear finite element analyses in 3-D
17 fairly routinely.

18 And what the finite element analyses allow us to do
19 is--as I was alluding to--is that they allow us to look at
20 non-linear thermal and structural behavior, and the reason,
21 of course, we're pursuing this type of behavior is lab and
22 field tests tell us that certain of the material properties
23 for the rock at Yucca Mountain behaves non-linearly.

24 In the area of thermal analyses, the conduction is
25 the heat transfer mechanism that we're considering. The

1 reason for that is that experiments and analysis comparisons
2 to date show that--well, within the uncertainty of both of
3 those, that both experiment and analyses, that conduction can
4 account for the heat transfer that's observed, and within
5 this analysis regime, we allow for the conductivity and the
6 heat capacity to vary as a function of temperature.

7 An example of the type of analysis results that we
8 have obtained from these thermal analyses, what you're
9 looking at is an emplacement drift with--these are on 2-D
10 analyses--with a heat source in the floor, and we're looking
11 at temperatures calculated after--well, two times; 25 years
12 after emplacement, and 100 years after emplacement, just to
13 show the magnitude of the temperatures. And to put that work
14 in perspective with the longer time periods, plotted on this
15 graph is temperature versus time. Here, this is a log plot
16 time, and you can see that even though the temperatures peak
17 at about 100 years, the floor and roof of the room--in other
18 words, the immediate vicinity of the room--remains quite hot
19 for an extended period of time.

20 In the area of structural analyses, again, on the
21 finite element end of it, we're doing elastic analyses, and
22 we look at what we call a jointed rock mass response, which
23 allows us to look at both the non-linear response of--well,
24 the non-linear response of joints in terms of their non-
25 linear shear and normal stiffness. Another feature that

1 we're allowed to look at here is that the coefficient of
2 thermal expansion is allowed to vary as a function of
3 temperature, and typically, what's done in the finite element
4 analyses is that we'll run the thermal analysis separate
5 from--well, run the thermal analysis initially, and then use
6 that as a driver input to a structural code, and calculate
7 stresses and strains as a result of that thermal load.

8 DR. DEERE: A question?

9 MR. BAUER: Yes, sir.

10 DR. DEERE: Don Deere.

11 What do you put in for your in situ stress state?
12 Do you let it generate? Are you starting just with an
13 elastic model in Poisson's Ratio, or are you starting with
14 some K_0 value, let's say?

15 MR. BAUER: Okay. It depends on the scale of the
16 analysis. If we're modeling the behavior of the entire
17 mountain, we can--if we want to, we could assume, let's say,
18 that the mountain's being gravity-loaded, okay? So we can
19 put in the densities, et cetera, and allow for the mountain
20 to load itself and generate its own in situ stress. Okay,
21 that's one tack we can take.

22 For an analysis like--well, let's say a room and
23 pillar-type analysis, where we're just looking at that scale,
24 maybe, oh, 15 meters wide by 100 meters high, we can then
25 take that larger scale analysis and look at the--and just

1 input a fixed horizontal stress of--at Yucca Mountain, low
2 end is probably on the order of three megapascals horizontal
3 stress, initial stress, and at the repository horizon,
4 vertical stress is on the order of seven to ten megapascals,
5 depending on where you are under the mountain. So it
6 depends.

7 DR. DEERE: Yes. The reason for my question is I see
8 that in the test plan there is only, I think, one location
9 for an in situ state of stress determination, and I just
10 wondered, is this sufficient, or do you have enough
11 background data to show that it is--that you can determine it
12 at only one site?

13 MR. KALIA: This is Hemi Kalia.

14 The in situ stress will be determined at several
15 locations in the entire facility; all the ramps, so the
16 analysis is conducted at multiple points.

17 DR. DEERE: Very good. I'm very glad to hear that. I
18 was sure it was. I just saw it there in one spot. Some of
19 us--quite a number--all of the Board, actually, and our
20 staff--visited the Canadian facilities and their underground
21 rock lab, and they got quite a surprise when they went in and
22 started measuring their stresses. You may know something
23 about that, to the point that, you know, very, very high
24 class granite is failing under its own stress at depths of
25 only 400 meters.

1 MR. BAUER: Yeah, a very different situation.

2 DR. DEERE: Well, what I wondered, do we have enough
3 information to know that?

4 MR. BAUER: Well, I would say no. I would say we need
5 more measurements.

6 DR. DEERE: Yeah, I agree.

7 MR. BAUER: When we're looking to do a structural
8 analysis, we go through a thought process--as diagramed here
9 --as to what type of structural model we may want to use.
10 For almost any problem that we look to solve, the first thing
11 we do immediately is an elastic analysis to kind of scope out
12 the problem, find out--try and get an idea of what's going
13 on.

14 Then, depending on the rock structure--be it good
15 rock, poor rock, very poor rock, excellent rock, et cetera--
16 we would choose a model that would be consistent with the
17 type of rock, okay? And listed below are types of models,
18 and, you know, for example, if the rock is blocky, you would
19 choose a model that, you know, a discontinuum-type model
20 where we'd model the rock as basically a stack of bricks with
21 some compliance in between those bricks, et cetera.

22 What I'm trying to say is we don't use the same
23 model all the time, regardless of what kind of rock we're
24 dealing with. And at this stage, because we don't know
25 exactly what kind of rock we're going to have down there,

1 what we're doing is sensitivity analyses and, let's say, and
2 looking at what are the effects of using different types of
3 models?

4 And by changing some of the parameters from one
5 model to the next, you can get one model to--the results from
6 one model to look like the results of another by, let's say,
7 varying the joint space and varying block size.

8 Just to show you the type of results we get doing
9 these structural analyses, these are the same times that you
10 looked at for the thermal analyses. This is for an elastic,
11 linear elastic analysis, the horizontal stresses that are
12 generated in an emplacement room 25 years after waste
13 emplacement, and 100 years after waste emplacement, just to
14 give you an idea of what kind of stresses that can be
15 expected.

16 To summarize at this point, we've seen that the
17 stresses, strains, and temperature in and around underground
18 excavations are found to vary as a function of time and
19 position, and at this time we feel that quantification of
20 these changes is possible with the analysis methods that
21 either we have in hand or we're working on developing. And
22 finally, this change in stress, strain, and temperature state
23 with time shall be incorporated into the design process
24 through the mechanism that Mert was talking about, the
25 performance assessment plan.

1 Conclusions relative to my talk: Although I didn't
2 go into the details of this to show you ironclad proof, if
3 you read, let's say, the ESFDR, you'll see that the Title I
4 design is not inconsistent with the analysis results obtained
5 to date. Next, the development and application of analysis
6 methods is continuing, probably will continue for at least a
7 little while, and the methods that we're developing shall be
8 used in analyses to support Title II design compliance with
9 10 CFR Part 60.

10 In terms of the planned work for Title II in the
11 area of thermal and structural analyses, the next two or
12 three view graphs show the analysis types similar to what
13 Mert Fewell talked about in the performance assessment plan,
14 and if you'd like to know more detail of it, other than is
15 provided here, I invite you to read that document when it
16 comes out. These just show basically the analysis categories
17 on the next three view graphs, but I don't think you need to
18 be hit over the head with those.

19 In terms of completing this work, as you're aware,
20 we began this work to support Title I. The analyses that are
21 to be done first would be the far-field analysis that I
22 described initially, and based on Ted's view graph, you saw
23 that the results of that type of analysis are needed for
24 Phase 2 of the phased design plan, and pretty much
25 immediately after that analysis, or those analyses are

1 completed, the cross section and intersection analyses would
2 be initiated, and they would have to be completed to support
3 individual Title II design phases.

4 Thank you. Any questions?

5 DR. CORDING: Ed Cording. I had a couple of questions
6 here.

7 In the conclusions, the Title I design is not
8 inconsistent with the analysis results to date, are you
9 saying that--I'm not sure what the meaning of that is. Are
10 you basically saying that given the configuration that's
11 presently there, you don't expect much damage from heat?

12 MR. BAUER: All right, I'm not sure I understand what
13 you mean.

14 DR. CORDING: Well, I guess my question, my statement
15 is, I don't understand what: "Title I design is not
16 inconsistent with the results to date." I'm not sure what
17 that means.

18 MR. BAUER: Ted, you have a good explanation.

19 MR. PETRIE: Well, all that really means is that to the
20 extent the design has been performed to date, we can't find
21 that there would be a thermal problem or that you could, in
22 fact, not make the design in detail such that it was
23 consistent with the thermal stress that he's talking about.
24 Did I make myself clear? No, I did not.

25 DR. DEERE: I understood you.

1 DR. CORDING: It helped a little bit.

2 MR. PETRIE: All we're really saying here is, I mean,
3 look at the design now, which is rock bolts or whatever. You
4 can't find that it could not be made compatible with what he
5 believes is going to come out of his analysis. That's as far
6 as you can say. Clearly, his analysis is not done yet, is
7 not completed yet. The design is not completed yet, but
8 there's nothing in there that would lead us to believe that
9 we can't design it to be consistent with what one would
10 expect.

11 MR. BAUER: And the analyses have shown that there's no
12 major problems to be encountered.

13 DR. CORDING: I guess one question is, in any of these
14 analyses, particularly when we get into our finite element
15 analysis, boundary element, some of these others, they
16 describe some of the changes in stress that can occur in
17 displacements, but in terms of--you still have to couple that
18 with a failure mechanism or behavior mechanism. What is
19 really causing this rock to break up, to fall apart? You get
20 some clues from some of these analyses, but they certainly
21 don't tell you about failure mechanisms directly, most of
22 them.

23 In fact, you have to make some interpretation of
24 those, and I guess that part of the link as to whether it is
25 or is not a problem, a certain stress condition is or is not

1 a problem, has to do with--one needs to tie into those
2 failure mechanisms and look at the behavior that actually
3 occurs.

4 MR. BAUER: All right. Well, you're 100 per cent
5 correct, and what we've done in that area, where we'd use,
6 let's say, an elastic model where we've reduced the modulus
7 to account to joints, okay, typically what we would do is
8 calculate stresses and strains through time and compare that
9 with, for example, a Houke & Brown failure criteria, okay.

10 We would then go in and identify regions, based on
11 that comparison, where the rock would have failed, okay? The
12 kind of thing that I'm describing is talked about in a
13 document called "Drift Design Methodology," which was just
14 recently approved by DOE, and, you know, basically what we've
15 done is that we've done numerical analyses for all different
16 types of rock--by different types of rock I mean, you know,
17 different joint spaces, things like that--and compared them
18 with different types of failure criteria.

19 We've compared them to plasticity analysis, or
20 plasticity failure criteria with Houke & Brown-type criteria,
21 with just failure in extension, okay? And then--and looked
22 at those results as where has the rock failed in the roof of
23 a drift, and said, well, what kind of ground support would we
24 recommend to hold up--we don't know what to do with failed
25 rock. So we've taken a conservative approach in that

1 methodology and said, well, we're going to hold it all up,
2 hold up the dead weight of all that rock with the ground
3 support systems, and then what we've done is compared that
4 recommendation with a recommendation that would come from,
5 oh, like a, you know, block mass rating-type analysis, and
6 whichever--and this methodology we've done is actually just
7 chosen whichever is the most conservative of the two to
8 recommend a ground support system. So we're trying to use
9 these analyses in practice.

10 DR. CORDING: So basically, given the stress conditions
11 you see around the openings, one could say that you've been
12 able to find a support system that would hold what you're
13 describing as the failed rock?

14 MR. BAUER: Yeah.

15 DR. CORDING: That that would be a more or less
16 conventional-type construction loads, designed for the
17 structural support system?

18 MR. BAUER: Yeah. And these were included, you know,
19 I've only talked about here today the thermal loads, but we
20 also would include in there seismic loads.

21 DR. CORDING: I think one other point is that one of the
22 things we see, for example, if we reached some criteria--like
23 the Houke-Brown criteria and Mohr-Colomb criteria--and in
24 terms of the stresses that we see distributed around the
25 opening, that may mean that the material has reached some

1 limit and it doesn't necessarily, and very often does not
2 mean that there's going to be a failure in terms of rupture,
3 or failure of the tunnel itself.

4 MR. BAUER: That's right.

5 DR. CORDING: A lot of rock has to perform at its limit
6 in high stress environments, and so just looking straight at
7 the analysis and saying, well, we've reached a limit here,
8 or, for example, even looking along a fault surface, if we
9 have gotten a factor of safety of one on, one point on that
10 fault doesn't mean that the fault's going to displace.

11 MR. BAUER: That's right.

12 DR. CORDING: Because you have to have the kinematics to
13 make the whole thing work, and so it's the same situation we
14 have around the openings, or this linking of analysis with
15 what we expect in terms of performance and the rupture and
16 failure that can occur around an opening in terms of loss of
17 stability, those steps in there are not automatic and simple
18 steps to take.

19 MR. BAUER: That's right.

20 MR. MCFARLAND: Have you made any effort to validate
21 your models?

22 MR. BAUER: Yes, by comparing them to whatever field and
23 laboratory experimental results are available, and the--we
24 haven't, in terms of validating, right now we're at a stage
25 where we've compared them in terms of stress/strain behavior.

1 We have not validated any of what we think is failure, any
2 of our models for what we think is failure, but we have, you
3 know, we'll grab anything that we--any type of experimental
4 work that's in the literature or work that was done at G-
5 tunnel, work that's been done--well...

6 MR. MCFARLAND: Do you have access to the other Rainier
7 Mesa tests? Sandia has been involved--portions of Sandia
8 have been involved for I know of at least 20 years in trying
9 to model survivability of underground structures subject to
10 nuclear weapons effects, and I could look up in my diary the
11 people at Sandia that supported both the ballistic missile
12 and defense nuclear over the last, at least I know of at
13 least the last decade in this work of trying to define
14 survivability, and then, as there will be a test tomorrow or
15 the next day at Rainier Mesa, as an add-on to the underground
16 nuclear weapons tests to predict performance and see how the
17 predictions compare, and as I said, this is a portion--this
18 was being--was supported by Sandia. I left that six years
19 ago, but I'm sure there are people at Sandia that could
20 provide you reams of experimental data.

21 MR. BAUER: That's right, but are you saying that
22 because you think that those types of loaded conditions are
23 important for us to work with?

24 MR. MCFARLAND: I'm talking validation of a model.

25 MR. BAUER: Well, except, you know, the types of seismic

1 loads that we're looking at are relatively minor compared to
2 those. You know, I've walked in those drifts and looked at
3 them and, you know, I don't think we're going to come to
4 those types of loadings, and so, you see, what we're--in this
5 drift design methodology, we're actually treating as--the
6 seismic loads as a static dead load and it's not--we're not
7 that worried about it in terms of a dynamic event.

8 MR. MCFARLAND: Again, as a validation of a model, that
9 they have a considerable amount of experimental data and
10 they've been trying to do it for some time.

11 MR. BAUER: Well, I'm sure I can get into that data,
12 data set somehow.

13 DR. CORDING: In regard to the thermal condition, I
14 don't believe we do have a lot of data in the tuffs; pretty
15 much all I know of were the start of those experiments in G-
16 tunnel in the tuff.

17 MR. BAUER: Yeah, we're lacking for experimental data.

18 MR. GERTZ: And once again, only by heater tests will we
19 get some data, and what we are looking at in the ESF will be
20 ten or twenty years of drifts without any heat loading, and
21 only once we determine Yucca Mountain is suitable would the
22 heat loading come into effect, and then we want to make sure
23 it's retrievable so our tunnels are structurally sound so we
24 can get back in and retrieve them, or the decision will be
25 made, backfill them 70 or 80 years from now. So I think that

1 perspective has to be kept in mind.

2 DR. DEERE: Don Deere

3 I think that the beauty of a lot of these analyses
4 are that if, even if one is wrong on assumptions along the
5 way, rockbolts can cover an awful lot of sins, and so I feel
6 pretty good about your analyses.

7 DR. ALLEN: Other encouraging comments from anyone?

8 (Laughter.)

9 DR. ALLEN: This is the first time in the history of
10 this Board that we seem to be approaching the end of the day
11 ahead of time.

12 We're adjourned until tomorrow morning.

13 (Whereupon, the meeting was adjourned, to reconvene
14 on September 19, 1991.)

15

16

17

18

19

20

21

22

23

24

25