

UNITED STATES
NUCLEAR WASTE TECHNICAL REVIEW BOARD

STRUCTURAL GEOLOGY & GEOENGINEERING
PANEL MEETING
EXPLORATORY STUDIES FACILITY DESIGN REVIEW

September 19, 1991

St. Tropez Hotel
Las Vegas, Nevada

BOARD MEMBERS PRESENT

Dr. Don U. Deere, Chairman
Nuclear Waste Technical Review Board

Dr. Clarence R. Allen, Chair
Structural Geology & Geoengineering Panel

STAFF PRESENT

Mr. Russell K. McFarland, P.E.
Senior Professional Staff

Dr. Edward J. Cording, Consultant

I N D E X

<u>SPEAKERS:</u>	<u>PAGE NO.</u>
Opening Remarks Dr. Donald U. Deere, Nuclear Waste Technical Review Board	223
Preliminary Comparative Cost/Schedule Analysis of Construction Scenarios Using Tunnel Boring Machines Derrick Wagg, Senior Mining Engineer, SAIC	224
Introduction to Repository Design Features Edgar Petrie, Acting Director, Yucca Mountain Project Office	234
Repository Design Reference Configuration as Described in Site Characterization Plan Michael D. Voegele, Deputy Project Manager, Technical Programs, SAIC	237
Major Repository Design Features Examined During ESF Alternatives Study Michael D. Voegele, Deputy Project Manager, Technical Programs, SAIC	264
Potential Impacts of Revised Exploratory Studies Design on Repository Interfaces Michael D. Voegele, Deputy Project Manager, Technical Programs, SAIC	304

1

P R O C E E D I N G S

2 DR. DEERE: Good morning. Good morning, ladies and
3 gentlemen, and welcome back to the second day of the meeting.
4 I will turn the meeting over now to Dr. Clarence Allen,
5 Chairman of the Panel.

6 DR. ALLEN: And, I, in turn, will turn it over to Ted
7 Petrie. We're going to have a slight change in the agenda
8 this morning, but I'll let him explain that.

9 MR. PETRIE: Yes, I can do it right from here. This is
10 Ted Petrie, Department of Energy. The first thing this
11 morning, we're going to have a presentation on some analyses
12 we have done over the past few months comparing different
13 scenarios or different utilizations of excavation machines.
14 Derrick Wagg headed up this activity and he'll be presenting.

15 So, with no further ado, Derrick, go ahead?

16 MR. GERTZ: While Derrick is getting ready--this is Carl
17 Gertz--I'd just like to add one other thing. Keep in mind we
18 do have the model up here and Ed Cording and I were talking
19 about it just a little while ago and he indicated he thought
20 the vertical excavation slopes were a little heavy and he
21 didn't know if the open pit system would work very well.
22 And, although he certainly said that in jest, I want you to
23 know we've had many people look at these models at our info
24 office that their first impression was you were going to back

1 up trucks and dump things in. So, that's a perception we
2 deal with every day and, although it may have been facetious
3 in our discussion, it's a reality to some of the public and
4 we have to use mechanisms to show that it's ramps and things.

5 DR. ALLEN: That's what the word "dump" does for us.

6 MR. GERTZ: That's what the word "dump" does for us,
7 Clarence, you're right.

8 MR. WAGG: Good morning, my name is Derrick Wagg and I'm
9 a mining engineer with SAIC and I'd like to give a brief
10 presentation on the preliminary comparative cost/schedule
11 analysis of the construction scenarios using tunnel boring
12 machines.

13 The intent of this analysis was to provide a sum-
14 mary of additional costs which might be incurred by using
15 more TBMs to meet early testing milestones; on the other
16 hand, conversely to show how construction schedule would be
17 extended if the decision was made to minimize the number of
18 TBMs.

19 I'd like to point out right from the start that the
20 purpose of this study was not a technical study. It was a
21 cost/schedule analysis and it was performed to aid any future
22 Yucca Mountain Project management decisions on the need for
23 additional technical studies which may be necessary early in
24 Title II Design. For example, if we use utilized two TBMs,

1 one going down the south ramp and continuing along the
2 Topopah Spring level and up the south ramp and another one
3 starting at the intersection of the north ramp going to the
4 Calico Hills, along the Calico Hills level, and up the south
5 ramp again, would be an extended drivage and there may be
6 additional studies needed for ventilation, safety require-
7 ments, power requirements, and modified production rates, et
8 cetera.

9 The scope of this study was the identification of
10 various construction scenarios for the reference design
11 concept which was the two-ramp concept, using different
12 combinations of construction equipment. Also, to provide a
13 construction schedule for each scenario, identification of
14 important testing milestones for schedule comparison to see
15 how the schedules and what time frame each of the scenarios
16 reached those milestones, and the calculation of capital and
17 operating costs for each of the scenarios which included
18 power distribution costs, capital equipment costs, operating
19 costs per machine, credit costs, ground support costs, con-
20 veyor costs, ventilation costs, et cetera, and also a daily
21 cost; the machine labor crew, the utility labor crews, and
22 the daily cost of power utilization. Also, we included in
23 that construction support costs which covered the whole of
24 the ESF construction, the support you always needed to sup-

1 port or construct.

2 Then, finally, we prepared a matrix of cost and
3 schedule comparisons so that we could easily see how the
4 various scenarios reached their milestones, and alongside
5 that, what the cost of each of the scenarios would be.

6 I won't go into detail on the equipment scenarios
7 examined, but as you see, the scope went from two 25' TBMs
8 and two 16' TBMs, down to one 25' TBM utilizing mobile miners
9 and road headers and so on. So, we covered quite a large
10 scope of scenarios.

11 The testing milestones which we identified were as
12 shown here. It was felt that the intersection of the north
13 ramp and the Calico Hills was an important testing milestone
14 to get down as quickly as possible to Calico Hills. The
15 intersection of the Calico Hills Exploratory Drift with a
16 major fault, that was an important milestone. On the Topopah
17 Spring level, the first intersection of the Ghost Dance Fault
18 and the Topopah Spring main drift was considered important
19 and also the connection between the north and south ramps on
20 Topopah Spring level because this milestone was considered
21 important because testing in the core test area would not
22 commence until that milestone was achieved due to the venti-
23 lation. We needed to get a ventilation circuit in operation.

24 You have in your handouts the matrix of results.

1 This is the matrix of results. It shows the different scen-
2 arios, the testing milestones which are identified at the
3 bottom of the sheet, and the number of days that it took each
4 scenario to reach that testing milestone. Also, the days to
5 the end of total construction of the ESF.

6 MR. PETRIE: Derrick, just one other thing. These
7 should be considered to be relative costs, relative
8 schedules, not absolute numbers. Okay? Don't say, well,
9 that's what that costs. That's not true, but you can com-
10 pare--use them for a comparison, but not for an absolute
11 value.

12 MR. WAGG: Yeah, these costs were only used for compar-
13 ison purposes and in the column we should have probably just
14 said 202.5. Those are relative costs and shouldn't be con-
15 sidered for use in any cost analysis.

16 Finally, just a brief summary of results. In
17 Scenario 1 which had two 25' TBMs and two 16' TBMs, this was
18 the most costly scenario with a construction cost totalling
19 \$202 million. Scenario #2 which had one 25' TBM and one 16'
20 TBM was the least costly scenario, construction costs were
21 \$159.5 million. This achieved the testing milestones A, B,
22 and C in the same time frame as Scenario 1. So, there was
23 not much difference in those milestones. This scenario
24 delayed testing milestone D which was the connection of the

1 drift on the main test level in Topopah Spring. This delayed
2 that by 262 days over Scenario 1.

3 Scenario 6 had two 25' TBMs and one 16' TBM and the
4 two 25' TBMs started in the north ramp and continued on
5 Topopah Spring level, south around Topopah Spring level, and
6 the 16' TBM was started on the north ramp and continued down
7 to Calico Hills, along Calico Hills, and made the complete
8 circuit on Calico Hills. That was the apparent preferred
9 scenario. I say that, that was our opinion. There's a lot
10 of other factors that would make it probably not preferable,
11 but the construction costs were 195 million. It achieved
12 testing milestones A, B, and C in the same time frame as
13 Scenarios 1 and 2. It also improved testing of milestone D
14 by 37 days over Scenario 1 and also cost \$6.7 million less
15 than Scenario 1. So, it was apparently a preferred scenario.
16 However, the overall construction time was increased by 169
17 days because after all these testing milestones had been
18 achieved we still had to complete the circuit back up to the
19 south ramp. However, this may not be considered necessary if
20 all the testing milestones are met and all the testing has
21 been achieved in Calico Hills. We may not need to make that
22 connection.

23 So, that was a brief summary of results and that's
24 all I have to offer except to say that this should be con-

1 sidered not to be a technical study, but just an analysis of
2 cost and schedules.

3 MR. GERTZ: Derrick, for my edification, could you go
4 over the scenarios and the thoughts behind them, each of the
5 scenarios for me please?

6 MR. WAGG: Do you want all the scenarios?

7 MR. GERTZ: Yeah, just your thoughts like you went
8 through the last one saying going all the way around with the
9 one TBM.

10 MR. WAGG: I'll have to get my notes.

11 MR. GERTZ: All right.

12 MR. WAGG: Scenario 1--

13 MR. PETRIE: Derrick, see if you can put the equipment
14 scenarios examined up on the other--

15 MR. WAGG: Okay.

16 MR. GERTZ: Or, actually the schedule with the costs and
17 the testing on--

18 MR. WAGG: Okay.

19 DR. ALLEN: Are the equipment scenarios numbered 1
20 through--they're not numbered here, but are they numbered
21 through something--

22 MR. WAGG: They're not numbered, no. They're not num-
23 bered the same as I have the scenarios in here. On the list
24 you have, they're not exactly numbered 1 through 7. Sorry

1 about that.

2 MR. GERTZ: But, the remarks on that column are a good
3 indication of what--

4 MR. WAGG: Yes. Yes.

5 MR. GERTZ: Yes.

6 MR. WAGG: Scenario 1, we had two 25' TBMs, two 16's.
7 The 25' TBM started from surface and went down north and
8 south ramps. The two 16' TBMs, a 16' TBM started in the
9 intersection of the Topopah Spring and continued down and
10 also in the south ramp.

11 Scenario 2 was one 25' TBM making the complete
12 circuit on the north ramp along Topopah Spring up to surface
13 in the south ramp and starting--the 16' TBM started in the
14 north ramp, down to Calico Hills, along Calico Hills, and up
15 the south ramp.

16 Scenario 3 was again one 25' TBM, one 16' TBM. The
17 25' TBM came down, and after it had made the first intersec-
18 tion of the Ghost Dance Fault, it was demobilized and taken
19 back up to the south ramp and started down the south ramp.
20 Similarly, the 16' TBM started in the north ramp, went to a
21 point on Calico Hills, and was demobilized and moved to the
22 south ramp and then completed the circuit to the south ramp.

23 Scenario 4 was one 25' TBM which we started on
24 surface. We took it--we bypassed the Topopah Spring, went

1 straight down to the Calico Hills, and at that point we
2 introduced a mechanical excavator on the Calico Hills in the
3 softer Calico Hills rock because we figured that a mechanical
4 excavator would handle that rock.

5 MR. PETRIE: Derrick, you say that was Scenario 4?

6 MR. WAGG: That's Scenario 4.

7 MR. PETRIE: All right. Well, your remarks say two 25

8 --

9 MR. WAGG: Excuse me, yes. I'm sorry, Ted. There are
10 two 25' TBMs. The first one bypassed the Topopah Spring,
11 came down, and was moved back up to the Calico--up to the
12 Topopah Spring level and continued drivage from the north
13 ramp into Topopah Spring. The second 25' TBM started at the
14 south ramp portal, went down to Calico Hills, and it was
15 demobilized and that--no, the second TBM just went down to
16 the Calico Hills. The first one did that, then was taken
17 back and completed--back up to the intersection and the
18 second one came down and down to complete the circuit. And,
19 we had a mechanical excavator do the drivage on Calico Hills.

20 Scenario 5 had one 25' TBM and this involved a
21 large number of moves. We came down from surface down to
22 Calico Hills. Again, we moved the TBM back up to Topopah
23 Spring, drove the Topopah Spring level until we hit Ghost
24 Dance Fault, moved the TBM back up to surface, started down,

1 came down to the Calico Hills, moved it back up from Calico
2 Hills to Topopah Spring, and completed the circuit. Again,
3 we had a mechanical excavator excavating on Calico Hills
4 level.

5 Scenario 6 was the one I outlined earlier where we
6 had a 25' TBM coming down the north ramp to the Topopah
7 Spring, a 25' TBM coming down the south ramp to the Topopah
8 Spring, and the 16' TBM did the whole Calico Hills circuit.

9 Scenario 7 was one 25' TBM and one 18' TBM which
10 was reduced to 16'. This was the request of one of the
11 panel. They said if we just need an 18' ramp for muck
12 handling from the repository level, let's take a look at
13 reducing it to--the head to 16' when we get down to the
14 Topopah Spring. So, the 25' TBM started in the north ramp,
15 came around, and completed the circuit to the intersection of
16 the south ramp. At the same time, the 16'--the 18' TBM was
17 started. When it got to this point, we changed it to a 16'
18 head and that completed the circuit around to the north ramp.

19 And, there were the seven scenarios we considered.

20 DR. DEERE: Would it be possible to have that sequence
21 of drawings sent out to us?

22 MR. WAGG: Certainly, yes.

23 DR. DEERE: Yeah, I mean, we don't need it now, but I'd
24 like to have it in the office so that when we're looking at

1 this we get a little bit better understanding.

2 MR. WAGG: Yes. That sequence of drawings is part of
3 the report. We could send you the whole report.

4 DR. DEERE: Oh, that would be fine.

5 MR. GERTZ: Yeah, let's do that. Derrick, you know, I
6 apologize for putting you on the spot because we didn't do
7 this--

8 MR. WAGG: That's okay.

9 MR. GERTZ: This wasn't planned and just late yesterday
10 afternoon we asked you to do it. So, I appreciate you coming
11 in and talking to us about it because it does involved many
12 things that the panel had suggested yesterday. And, I guess
13 I'm pleased because I hadn't seen it that our thought process
14 included these kind of trade-offs that I can use as a manager
15 later on. So, it's very enlightening to me at this stage.

16 DR. CORDING: Yeah, I think further, refinement of this
17 sort of approach, these alternatives, would--you know, mini-
18 mizing the start and stop of the machines is where a lot of
19 the problems develop in terms of time. But, going through
20 these sorts of approaches and refining that, I think, is
21 going to be very helpful. And, it would seem that the amount
22 of time to finish may not be that much greater if you can
23 start a machine and take it all the way down.

24 MR. PETRIE: I think really we're going to be going over

1 this on an annual basis. Whenever we find out how much money
2 we're going to get for the following year, we're going to be
3 saying how can we best utilize those resources we're going to
4 get? So, I see this as a continuing process for the next
5 couple of years.

6 MR. GERTZ: Further, let me share with the Board some
7 plans for funding because, as you're well aware, our tech-
8 nical process right now, progress is kind of tied to funding
9 and the OMB has indicated to us they'd like to help us plan
10 for the out-years and agree upon an out-year funding profile
11 that we can all agree on and they would support and hopefully
12 then Congress would support. That would make our job a
13 little bit easier and Ted and the scientific people, the
14 engineering and scientific people, wouldn't have to replan
15 every year. Hopefully, we could get a little more stability
16 to it. And, I think right now we're making the first steps
17 towards that. We've eliminated some of the barriers to get
18 on with field work. We're going to demonstrate some progress
19 next year, albeit surface-based testing, not underground
20 excavation, but that's leading to, I think, a basis for OMB
21 and the Congress hopefully agreeing on some kind of approach.
22 I know that's been done on the Supercolliding--Superconduct-
23 ing Supercollider. They've kind of got some temporary agree-
24 ment on funding. It always changes though as Congress has a

1 lot of flexibility. But, we're sure heading for that. So, I
2 want you to be aware that that's in our thought process to
3 make our project management, engineering, and scientific
4 studies a little bit easier to plan.

5 DR. ALLEN: Any questions or comments from the audience?

6 (No response.)

7 DR. ALLEN: Okay, thank you. Ted, let's move on.

8 MR. PETRIE: Thank you.

9 Well, this morning, we're going to spend practic-
10 ally all the time on the potential repository design features
11 and what we're doing about them to make our ESF compatible
12 with the potential repository or conceptual repository. Mike
13 Voegele is going to be discussing this. He's got about three
14 hours of presentations. Well, we're a little bit late, but
15 we'll be getting off very shortly. And, he's going to be
16 talking until about 10:30 or so and then take a break. And
17 then, Mike will be back on until a little after 11:00. Then,
18 we'll have some discussion at that point and then whatever
19 your pleasure is after that.

20 I just want to point out that the potential reposi-
21 tory/ESF interfaces received considerable attention during
22 Title I and also during the alternate studies and Mike is
23 really going to be talking for the most part about the alter-
24 nate studies. As I said, that's like a conceptual design for

1 us. He'll be talking about how we treated it in the concep-
2 tual design. For your information, these are the drawings
3 that go with the Title I design summary report and the last
4 section here is about, oh, half a dozen drawings, the repos-
5 itory/ESF interface drawings. Some of you folks have seen
6 this. It's not released yet. When it gets released, you'll
7 get a copy of it and you can see what they are.

8 Let's see, another point I'd like to make is that
9 we also have to be compatible with the surface-based testing
10 program and you're probably not going to be able to see too
11 much of this, but let me just hang it up here. Some nearby
12 can see it. You can come up and take a look at it if you'd
13 like. But, this is a composite of the potential repository,
14 the ESF, and the boreholes that are planned or are already in
15 place in the repository block. Of course, we must try to
16 insure any boreholes we put in don't go through a drift and
17 that's basically what we're doing here is to get our--locate
18 the boreholes, and to the extent we can, locate them some
19 place other than in a drift. In other words, we want them in
20 the pillars. So, again, just to give you an idea of what
21 kind of work we're doing to try to get these interfaces
22 resolved.

23 As I said, Mike will be talking about many of these
24 things, but the finalization and refinement of the design

1 interfaces will occur during Title II. So, we'll be carrying
2 on the potential repository conceptual design to the extent
3 we need to assure compatibility with ESF and the surface-
4 based testing over the next couple of years.

5 DR. DEERE: Is that drawing a part of the set of the
6 final report or is that a separate drawing?

7 MR. PETRIE: That's a separate drawing. It's under
8 development at this stage. Certainly, you can have a copy of
9 it, but like I say, it will be labeled draft with a big stamp
10 on it.

11 DR. DEERE: That's fine. That's what we're supposed to
12 do.

13 MR. PETRIE: Yeah, right. Sure. Yes, we'll get you a
14 copy of that. And, by the way, you will find at this point
15 that some of the boreholes go through drifts. Again, that's
16 precisely why we make things like this, to help us resolve
17 issues, those problems. And, these are just some of the
18 major interface points; the seals, drainage, ground support,
19 the ESF and potential access and egress, opening locations,
20 ventilation, utilities, haulage, and transportation. Some of
21 those are some of the major issues we have to address when we
22 do our ESF design comparing it to the potential repository
23 design.

24 And, at this point, I would like to introduce Mike

1 Voegele and let him carry the ball from here.

2 MR. VOEGELE: I'm just trying to make myself a little
3 bit of room. I have a lot of viewgraphs to play with today.

4 Good morning. I think it's probably appropriate if
5 I spend just a minute or so talking about why I think I'm
6 standing up here this morning. We had several discussions
7 recently involving a member of the Board, Russ McFarland, a
8 staff to the Board, and we're trying to answer a couple of
9 questions in our discussions. And, it occurred to me that it
10 would probably be a pretty simple matter to come up here with
11 about three or four viewgraphs and answer the question that
12 was asked of me. And, the more we talked about this partic-
13 ular question, the more we realized that we would be presum-
14 ing a lot of knowledge of a lot of people in this room and
15 probably individually within the room everything I'm going to
16 say this morning is going to be common knowledge to somebody,
17 but it's probably not going to be common knowledge to the
18 group as a whole. And, so we felt it was probably well
19 worthwhile to go back and review some information, perhaps at
20 the expense of saying things that were well-known to many
21 people.

22 I'm particularly speaking about the first speech
23 which is going back over the SCP conceptual design of the
24 repository and I'll try to make it as interesting as I pos-

1 sibly can. Believe me, I'm as flexible as I can be this
2 morning. If the Board would prefer to move a little bit
3 faster, we can zip right through this and get to the ESF part
4 of it. But, I believe many of the things we're going to talk
5 about in the ESF Alternative Study portion of this and in the
6 final part where we talk about some of the impacts on future
7 repository design activities will be better understood if we
8 spend just a few minutes reviewing some of the stuff that was
9 done to support the SCP. That's one of the points I wanted
10 to make.

11 The second point I wanted to make is I'm probably
12 going to make a point far more often than I should. We have
13 stood before the Board, as well as the Nuclear Regulatory
14 Commission, on numerous occasions and talked about the ESF
15 Alternative Study and we've really always talked about it
16 with the focus being on the Exploratory Studies Facility
17 portion of it. We have not really emphasized the repository
18 portion of it. I'm afraid we've assumed that when we put a
19 viewgraph up that had a word "repository" on it, you under-
20 stood that that was the repository even though we were talk-
21 ing about an ESF part of it or a TBM construction part of it.
22 And, so I'm going to show you many viewgraphs that you've
23 seen before, but I'm probably going to say things about them
24 that are different from what you've heard. So, if I do find

1 myself saying repository far too often, please feel free to
2 stop me. But, really, the focus here on all three of these
3 talks is on the repository; it's not on the ESF. So, with
4 that, I'll get started.

5 The first talk is, as I said, a brief overview of
6 the reference configuration for the repository design that
7 was included in the site characterization plan. I'd like to
8 start off by talking a little bit about the design bases for
9 that conceptual design; in particular, the SCP, site charac-
10 terization plan--excuse me, let me make one more point that
11 again this is one of these things that's very obvious to me,
12 but it may have never been said to some of the people in this
13 room. The Nuclear Waste Policy Act required that the site
14 characterization plan be accompanied by a conceptual design
15 for the repository. We dealt with that concern by devoting
16 an entire chapter of the SCP to a conceptual design of the
17 repository. Now, there is a large multi-volume document
18 which was prepared under Sandia's supervision which is an
19 actual conceptual design report including a volume of draw-
20 ings and many appendices. We chose to abstract that and put
21 in Chapter 6 of the SCP what we believe is a relatively
22 comprehensive summary of that document. So, there is a
23 conceptual design report, per se, which has Sandia covers on
24 it. We did not use that as the document which really

1 addressed the Nuclear Waste Policy Act requirement for a
2 conceptual design. We tried to embody that in total within
3 the SCP. So, what I'm talking about here is Chapter 6 of the
4 SCP.

5 Okay. Now, the design bases that I want to talk
6 about this morning have--I'm going to briefly touch the
7 repository design requirements that were in place at the time
8 we did this design and something about the reference design
9 data base. I also wanted you to know that there were other
10 pieces of the design bases in Chapter 6 of the SCP, but I'm
11 not going to speak much about them this morning. And, in
12 particular, there were sections devoted to structure systems
13 and components important to safety and barriers important to
14 waste isolation. Those particular sections of the SCP were
15 really the first portions of our program where we fully
16 addressed what about this repository was subject to the full
17 blown NRC QA program. There's been much work done since that
18 point in time, but I wanted to just highlight that for you
19 today. So, we'll move on into the data base--or the require-
20 ments documents themselves.

21 At the time that we did the SCP, this is the hier-
22 archy of requirements documents that were in place. It looks
23 a bit different from what's in place today, but I wanted to
24 point out the location of some documents for you. Now, those

1 of you who are looking through your books trying to find this
2 document, I have to tell you this. I did the final proof on
3 the graphics masters. This figure was in the graphics
4 masters. By the time it got to xeroxing and into your books,
5 it was gone, and when I went in there this morning to yell,
6 we opened up the graphics masters and there it was. I do not
7 know why it is not in your books. Okay? Somebody deliber-
8 ately didn't want you to see this figure.

9 DR. DEERE: It's in our books.

10 MR. VOEGELE: There are copies of it available on the
11 table if you didn't pick it up. It is in the books for the
12 Board. I was able to solve that problem. Okay.

13 Flowing down from the DOE requirements, the NRC
14 requirements, NPA, and so forth, the program created a docu-
15 ment which was called the generic requirements for a mine
16 geologic disposal system. We often refer to that as the GR.
17 Flowing down from that was a set of system requirements for
18 the repository design and a set of subsystem design require-
19 ments. Those documents exist as appendices in the Sandia
20 Report, the Sandia SCP/CDR. So, if you're looking for those
21 documents and care to see them, they were created for the
22 purposes of the design and they are embodied in the design
23 requirements documents.

24 Subsequent to that--and I think those of you who

1 were in Washington on Monday and saw Ted's discussion have
2 seen a more recent version of what the requirements documents
3 hierarchy looks like. When we get to the third presentation
4 this morning--and if there's interest in the room, I'll show
5 you that document and perhaps Ted might want to say some
6 words to it. Okay. Well, that's all I wanted to say about
7 the requirements. Basically, they were developed and they
8 were in place and they are documented.

9 I've shown this figure to the Board before. This
10 is the structural features of the general area surrounding
11 Yucca Mountain as we understood them at the time that we
12 developed the SCP conceptual design report. I thought I'd
13 try to lay that figure on top of an aerial photo of the site.
14 Maybe we need the lights off a little bit more. Perhaps you
15 can see it. There's not too much to say about this diagram
16 other than we did recognize a fair bit of structure, some of
17 which was assumed at that point in time and still to this
18 date has not been either confirmed or denied. You can cer-
19 tainly recognize why the geologists believed there is a fault
20 which is called the Ghost Dance Fault. You can see some
21 things up here. It's impossible to make these two diagrams
22 match well. I think it's probably because I had no controls
23 over the air photo. I have no--I cannot demonstrate that, in
24 fact, it's an accurate horizontal photo. I also cannot

1 demonstrate that I have an accurate transcription of the map.
2 This is the best I can do with the information available and
3 it's presented more in the sense of this is what we were
4 using at the time we did the repository design.

5 Importantly, there are some things that you can
6 take from that diagram, as well as stratigraphic information.
7 The Board has also seen this diagram in an earlier--in fact,
8 the first meeting that I spoke at with the Board. Impor-
9 tantly, I want to highlight some things. The famous turtle
10 shape down here (indicating), which is what we were referring
11 to basically as a primary area--and, I'll show you some
12 expansion areas that relate to the term "primary area"--but I
13 wanted to highlight the fact that there is a requirement that
14 we have more than 200 meters of overburden and that imposes
15 some constraints and said we probably can't go in that direc-
16 tion, a little bit down here, too (indicating).

17 There is a concern about vitrophyre in the lower
18 part of the Topopah Spring which gives us a constraint on
19 this side, as well (indicating). And then, we've talked
20 about the lithophysae before which give us a constraint on
21 this part of the boundary (indicating). Now, you know that
22 there's been some work recently to look at re-examining that
23 pit for the stratigraphic contact in the northeastern part of
24 the block. We tried very hard to redo this diagram for you.

1 We didn't have much success. I think probably the scales
2 involved don't make much of a difference. Yesterday after-
3 noon about 4:00 o'clock, a drawing came in from Sandia's
4 Graphic Information System and we decided it probably wasn't
5 enough different to try to convince you that there was a
6 difference, but in fact, we'll talk about that a little
7 later. We are, in fact, examining that, as well. But, at
8 the time that the repository conceptual design was developed,
9 those were the constraints that were in place. The 10%
10 maximum grade was a limitation on the equipment within the
11 repository horizon.

12 I mentioned, in fact, that particular shape was a
13 --we called it a primary area. We also at that time recog-
14 nized that there were areas that had comparable rock proper-
15 ties and comparable structural features such that, if neces-
16 sary, one could probably expand that area and have more area
17 available to develop the repository, if necessary. The focus
18 has been on the area within this block, this primary area,
19 but there are--we have no reason to expect that we could not
20 expand that if it became necessary to do so. I'll just say
21 one more thing. This is a diagram that was very relevant to
22 our site suitability assessment that was prepared during the
23 environmental assessment for the site. And, basically, we
24 felt that we had less confidence in the rock outside these

1 areas than we did inside that area. And, so basically when
2 we were addressing the question of flexibility and ability to
3 expand this site, we basically took the position that we have
4 not demonstrated that we have flexibility to expand in those
5 outward directions. So, we took what we thought was a con-
6 servative posture and said that this is our best understood
7 section of the repository block.

8 Okay. There's one more piece of information that's
9 probably worth talking about in this data base. The data
10 base is very comprehensive. We have a lot of rock properties
11 and so forth. I'm just trying to highlight some of the
12 features that really have a bearing on the ESF Alternative
13 Study and one of those is the potential for flooding. These
14 are regional maximum flood data and basically I wanted to
15 show you that, in fact, there is a potential for some flood-
16 ing upland in this part of the area and that has been a
17 significant issue with some of the NRC staff. We've dis-
18 cussed that in the past and we've been trying to accommodate
19 concerns about the potential for flooding in our further
20 design work, as well. But, I wanted you to know it was a
21 consideration in the design at the time that we did the SCP
22 design.

23 Okay. I'd like to move on and talk a little bit
24 about some of the aspects of the conceptual design of the

1 repository. I'm going to probably just talk a little bit
2 about the operations, surface facilities, the underground
3 facilities, a little bit about seals, backfill. I probably
4 won't mention too much about some of those, but I'll try to
5 give you as comprehensive and quick of an overview as I can
6 so that you have a feeling for what the repository design was
7 like at that time.

8 This was the artist's drawing of the overall com-
9 plex. It basically was surface facilities out here in the
10 flats ramped down through Exile Hill into the underground
11 area. The tuff ramp, the waste ramp, actually took the
12 material up here into the north, and you can see a couple of
13 the shafts that were in place at that time.

14 I'm going to tell you just a couple of quick things
15 about the surface facilities which were located over here
16 (indicating). Those of you who have been out here would
17 recognize this little feature (indicating) as Exile Hill.
18 Okay. It's a rather busy diagram that I will try to orient
19 and basically show you some waste handling buildings, some
20 decontamination type buildings, performance confirmation
21 building, and the portal for the waste ramp, administrative
22 type facilities over here, the rail access to the facility
23 coming in from the east.

24 The one point that's worth highlighting with

1 respect to that is that the location of those surface facil-
2 ities were arrived at in a study that did a comparison of six
3 candidate areas for the surface facilities out on that side
4 of the block. So, that was actually the best of several
5 possible sites that we looked at from a number of perspec-
6 tives.

7 Okay. I'd like to move now into the underground
8 facility portion. One thing I did not mention when I had the
9 other diagram up which I'll mention to you now, the shape
10 that we're using in this repository design is worth noting.
11 It's different from the shape that we said was the primary
12 area and the primary area basically had some good rock up in
13 this area (indicating), good in the sense of as comparable to
14 what we believe is in here, and some further on down. This
15 shape was driven more by the layout of the repository and its
16 ability to accommodate the projected waste volumes than
17 anything else. And, so we didn't lose any material out
18 there. This is just the perimeter area of an underground
19 facility that meets the requirements that were laid upon it.
20 I wanted to talk a little bit about the shafts and
21 ramps. You see me pulling up some diagrams today that are
22 obviously not what we're doing, but remember, this is what we
23 had done before for comparison purposes. The waste ramp came
24 in from Exile Hill. The tuff ramp goes off to the north.

1 The locations of the shafts at that point in time, there's a
2 men and materials shaft right down here (indicating). There
3 is an emplacement exhaust shaft on the perimeter drift on the
4 far eastern side of the repository block and then there were
5 the two exploratory shafts in here. And, you will count that
6 as six accesses to the facility which was also an issue that
7 we have been dealing with for the past.

8 You'll see this drawing again in my presentation
9 and it will be entitled Interface Control Drawing. And, the
10 reason I wanted to mention that basically is because this
11 particular piece of the repository which was really laid out
12 to accommodate the underground exploration activities was
13 designed to very carefully fit with the repository and I'll
14 show you that in a little bit. The interfaces were all
15 defined and we believe they were trapped.

16 Now, what did the accesses look like in that
17 facility? As I mentioned there were six; a significantly
18 steeper tuff ramp and waste ramp than we're considering
19 today, the exploratory shafts--you'll notice that the depth
20 of Exploratory Shaft #1 is 1480 feet. That conceptual design
21 did take that shaft down into the Calico Hills. Okay? Now,
22 you'll also notice something interesting about our second
23 exploratory shaft when you start looking at the diameter of
24 that shaft. You'll see it's a six foot diameter shaft. At

1 that point in time, the second exploratory shaft was
2 envisioned as an emergency egress and it was to have been
3 raise bored. The repository shafts, the men and materials
4 shaft, and the emplacement area exhaust shaft were about 20
5 foot diameter shafts in both the horizontal and vertical
6 configuration. You'll see momentarily we were carrying two
7 designs with us; one was for horizontal emplacement of the
8 waste canisters and one for vertical emplacement of the waste
9 canisters. You'll also notice that the primary exploratory
10 shaft was only 12 feet in that design. This was still a very
11 small compact facility in keeping with the Department policy
12 at that point in time, trying to keep this a very small
13 facility.

14 Okay. Let me talk about the vertical emplacement
15 configurations. This is basically the layout of the reposi-
16 tory and the development is off the repository mains. We
17 have some things called panel access drifts, and from those
18 panel access drifts, typical panels would be developed and a
19 panel would look something like this (indicating). Within
20 those panels, you basically were able to--we had developed
21 some schemes for disposing of both defense high level waste
22 and spent fuel and you can see that there might have been,
23 for instance, a spent fuel emplacement drift within this
24 panel which had a spacing of about 15 feet between the waste

1 canisters, about a 92-1/2 foot standoff from the panel
2 accesses. Where we were commingling waste, there was a
3 shorter standoff and a shorter distance between the waste
4 canisters. I have one more drawing of that which has addi-
5 tional detail. You can see a little bit. You can see a
6 section of an emplacement drift on either side. You can
7 notice this is the spent fuel (indicating). You can see the
8 depths, about 15 feet length for a canister. Total depth of
9 that hole about 25 feet. A shield plug. The dimensions,
10 these were 22 feet high and 16 feet wide. The aspect ratio
11 of the emplacement equipment would be to swing this thing up
12 and drop it in a hole. You'll see it's different for the
13 horizontal, obviously. For the defense high level waste, the
14 geometry of the hole, dimensions of the canister are a little
15 bit different.

16 Okay. The horizontal emplacement configuration is
17 a little bit different. It has a different excavation ratio
18 and basically has comparable panel access drifts, but when
19 you get into a typical panel, you'll see a little bit dif-
20 ferent geometry. And, that looks like this (indicating).
21 Now, the way this is drawn, it looks like those boreholes
22 extend between the emplacement drifts. They do not. It's
23 just the way the artist chose to represent this. They come
24 off of either side of the emplacement drifts into the pillars

1 for depths of about--I think this is almost 300 feet. I
2 remember 363 feet, right, being the total depth. And, you
3 can see the differences here are differences in standoffs and
4 differences in the number of canisters that we'll see on the
5 next viewgraph depending on whether you're looking at defense
6 high level waste or spent fuel. It's a little bit easier to
7 see on a section through that which is the next figure.

8 Okay. The aspect ratio of the access drifts and
9 the emplacement drifts are a little bit different. To accom-
10 modate an equipment which is now swinging this canister
11 horizontally to place it into the walls. And, you can see
12 that there are basically--there's a shield plug, as well.
13 There are dummy containers which are put in to put the
14 spacing to keep the waste back from the emplacement drifts
15 and they go in different lengths. The total length is about
16 300 feet for the defense high level waste. The total length
17 is about 363 feet for the spent fuel.

18 I included in the next couple of diagrams the
19 complete sets of cross sections for the vertical emplacement
20 and the horizontal emplacement. I think maybe the best thing
21 to do is for me to just show you them and then lay them on
22 top of each other so you can see where the differences are.
23 These are the ramps and the mains (indicating), here are the
24 emplacement drifts (indicating), and here's the panel access

1 drifts (indicating). This is the perimeter drift for the
2 vertical emplacement. Here's the comparable set of cross
3 sections for the horizontal emplacement scheme and if I lay
4 these on top and just go from top to bottom, you can see that
5 the waste ramp is a little bit bigger in the vertical
6 emplacement, the tuff ramp is a little bit bigger in the
7 vertical emplacement, tuff main looks about the same, waste
8 main is a little bit bigger in the vertical emplacement. You
9 can see here the difference in the aspect ratios between the
10 horizontal emplacement and the vertical emplacement. These
11 are the emplacement drifts. Perimeter drift is the same.
12 Surface main looks the same. Panel access drifts don't look
13 too much different. So, there's very subtle differences in
14 the geometry of the drifts between the two designs.

15 I thought it would be relevant to show you a little
16 bit about the ground support that was envisioned for that
17 design. Basically, in the typical bored drifts, we envision-
18 ed either friction bolts or some grouted dowels and wire mesh
19 or perhaps some shotcrete on top of those. Vertical config-
20 uration, you have the same situation. The wire mesh would
21 extend not all the way down the walls, shotcrete likewise.
22 And, the horizontal configuration, basically you have a
23 comparable situation. But, we were dealing with four
24 expected classifications--four classifications for expected

1 conditions ranging from quite simple where you might just
2 have a friction type rock bolt spaced as you need them to
3 control the conditions. The next more severe would be welded
4 wire mesh with grouted dowels. Then, you would move to what
5 welded wire mesh covered by shotcrete, and finally, you would
6 have a situation where if the ground had gotten a little bit
7 worse, you would have a primary support which was initially
8 put in, followed by a final support where you came back and
9 added additional shotcrete, if necessary.

10 Okay. I'd like to show you the drainage that was
11 envisioned at that repository at that time. One aspect of
12 the repository which we felt was a positive aspect, the
13 repository was inclined and we felt that if it would be
14 passably self-driving, we wouldn't have to do anything in the
15 post-closure time frame to insure drainage if water did get
16 into it. It was designed to drain to the lowest part of the
17 repository which was up here at the emplacement exhaust
18 shaft. This was the lowest part of the repository. And so,
19 basically, you can see everything that's running is either
20 running out and around this way (indicating) or around this
21 way (indicating) or draining down across that with the excep-
22 tion that the exploratory shaft at that time--I don't have to
23 say exploratory studies until I get to like my third talk--
24 exploratory shaft facility at that time was isolated from the

1 drainage in the repository so that it would be internally
2 self-consistent and it would not act as a sump for the repos-
3 itory. You may remember, the NRC had some concerns about
4 precipitation of materials in those shafts which would clog
5 them up and eventually cause the exploratory shaft drainage
6 system to become part of the repository drainage system. So,
7 that was part of the reason that we're discussing flooding of
8 the exploratory shaft locations with the NRC.

9 Okay. I want to try to show you a little bit about
10 ventilation. Basically, the repository was designed with two
11 independent ventilation circuits and the--I guess the intake
12 is here (indicating), the exhaust is here (indicating) for
13 the emplacement part of the repository. The intake is the
14 men and materials shaft and the exhaust is the tuff ramp
15 portal for the development side of this. This particular
16 plan view is pretty late in the repository development cycle.
17 I'll show you an earlier phase in a moment. But, basically,
18 in this particular diagram, we have emplacement taking place
19 throughout this part of the repository working its way back
20 here and the only development remaining is in this last
21 portion of it.

22 Let me show you the ventilation--it's a little bit
23 easier to look at--in an earlier stage of the repository
24 where we basically have emplacement taking place back here

1 and development is preceding ahead of it. So, this would
2 mean we have not really started to develop this part of the
3 repository yet. And, you can trace this basically through
4 here. Here (indicating), you have intake to this part and
5 the return and then, likewise, intake through here (indi-
6 cating) and the returns on the emplacement portion of it.
7 You have a comparable diagram for a late stage in the hori-
8 zontal emplacement cycle--or emplacement mode in your books,
9 as well as for an earlier stage of development. The general
10 ventilation patterns are quite similar. Basically, the
11 ventilation circuits are separate and that's deliberate.
12 It's required by law, required by NRC's regulation, and
13 basically they use this for emplacement exhaust, this for
14 emplacement intake, this for development intake, and that for
15 development exhaust.

16 Okay. I wanted to talk a little bit about some of
17 the shaft sealing concepts that were in place at that time.
18 We had envisioned a situation where for the shafts we would
19 basically have an anchor that would anchor us into the bed-
20 rock and it would function as a plug and a seal. We would
21 have settlement plugs down the shaft, if necessary; basic-
22 ally, fill the shaft. The stations would also be plugged.
23 Drifts would be backfilled and, in fact, we would have strip-
24 ped the liner, as necessary, or we could have left the liner

1 in place, as necessary, depending on how the sealing program
2 eventually developed. At that point in time, we did not
3 have--probably did not have as well thought out of a sealing
4 program as we knew we were going to need when we went to the
5 NRC. We felt the sealing program would have to be developed
6 more during the testing program. And, those of you who
7 followed our debates with the NRC over the years know well
8 that we have debated the sealing program with the NRC, as
9 well as many of our other programs.

10 This is the comparable diagram for ramps. It
11 basically has a surface plug. In this particular concept, we
12 did not have settlement plugs. Basically, we had our primary
13 plug at the base of the ramp, you know, a surface plug. I
14 think one thing that's part of the sealing program that is
15 worth talking about deals with how we were going to control
16 the possible water inflow. The conceptual design recognized
17 that we might have water inflow in regions within that block
18 if we did have some fracture zones which were conductive and
19 there was either water at the time or--at the time of con-
20 struction we encountered water or found evidence of water.
21 Likewise, if we found evidence of movement upon a fault that
22 we did not know was there, we would take steps to avoid that
23 particular part of the rock mass in terms of emplacing waste.
24 Some of the schemes that we were looking at at that

1 point in time--and these are also relevant to how you might
2 eventually seal this repository--dealt with what you would do
3 if you had that water. Now, if you happened to have
4 encountered in a drift a water-bearing fracture zone, there
5 are certainly possibilities which are relatively common to
6 build a bulkhead and grout that rock mass to keep that water
7 away from the facility. On the other hand, we also could
8 have just encouraged some of that drainage by bulkheading
9 this off and filling this with a fill material. So, basic-
10 ally, what we were trying to do in this instance is if we had
11 found a water-bearing fracture, we would try to encourage--or
12 a fracture that might have had some evidence of having car-
13 ried water in the past--we would try to encourage the future
14 drainage of that water so that we wouldn't have introduced
15 any water into the rock mass where the waste was emplaced.
16 Likewise, we had looked at concepts for building sumps and
17 drainage boreholes to encourage that drainage of water. The
18 whole idea was to continue to keep this repository dry if we
19 possibly could. So, as I said, there were contingency plans
20 envisioned in the repository design where you would avoid
21 these types of areas, where you would take steps to control
22 that water inflow so that it would not get into the reposito-
23 ry.

24 There were also contingency plans for things like

1 if you found a fault that you had not expected that had some
2 evidence of movement or was judged to be capable of movement
3 at some point in the future, you would actually stand off
4 from that particular part of the repository block, the idea
5 being that we would not consciously put a waste canister in a
6 zone where there was a potential for movement to shear that
7 waste canister. So, we were going to try to put the waste
8 canisters in the parts of the rock block that looked the best
9 from the perspectives of waste isolation. That was a
10 conscious aspect of that design, as well.

11 Okay. I wanted to use this particular forum, as
12 well, to show you a couple of diagrams that are probably as
13 relevant to the next meeting we're going to have as they are
14 to this meeting, but I wanted you to know that we did look at
15 temperature effects in this design, as well. These partic-
16 ular diagrams are looking at predicted temperatures on the
17 emplacement borehole walls as a function of time for both the
18 vertical emplacement scheme and the horizontal emplacement
19 scheme. The design goal of 235 degrees on the borehole wall,
20 as you may remember or we'll talk about again soon, was set
21 to insure the waste package temperature of, I believe, 275
22 degrees. I can check that out momentarily. But, we did the
23 analyses and it convinced ourselves that, in fact, we met
24 those constraints. In fact, we met them much better in the

1 horizontal emplacement scheme.

2 Okay. I wanted to show you--since this is a geo-
3 sciences panel, we might as well look at principal stresses
4 and strength. We don't often get to look at those things.
5 These are some plots, finite element simulations of the
6 drifts of the waste emplacement drifts. This is, in fact,
7 the vertical emplacement drift and this is the stress situa-
8 tion at the time of the excavation. 100 years in an unven-
9 tilated situation, you'll notice the principal stresses--in
10 fact, you'll notice tensile stresses along the edge of the
11 drift, and likewise if it were ventilated, you can find out
12 that, in fact, you do take a lot of that heat out because the
13 principal stresses do not grow as much and, in fact, you
14 don't develop the tensile stresses. This is the--you can
15 look at these as safety factors. Well, this is the ratio of
16 the stresses to the rock mass strength. My recollection is
17 that we did--I was thinking about this as I was driving over
18 --that we did do some modeling looking at the potential for
19 slippage along the rock joints, as well, and it was minimal.
20 I'm looking at Al Dennis to see if he remembers that.

21 MR. DENNIS: I remember something along that--

22 MR. VOEGELE: Something like that. I'm fairly certain
23 that if I would have turned the page and pulled the next set
24 of viewgraphs up, I would have shown you one that showed the

1 potential for slippage along joints where we did some of
2 those types of analyses. And, my recollection is it was
3 minimal.

4 Here's the comparable set of drawings for the
5 principal stresses in a horizontal emplacement mode. I think
6 the obvious is obvious. We've got the canisters--in the
7 previous situation, we had the canister in the bottom of the
8 hole causing the heat. In this situation, the canisters are
9 out here in the wall and you can see the tensile stresses are
10 a bit more of a problem to deal with in this situation. But,
11 again, the ratios between the stresses and the strengths look
12 quite good. And, I also remember that this one did not have
13 significant movement on joint surfaces when we looked at
14 that, as well.

15 I have one more thermal diagram to show you. This
16 is the profile across the repository (indicating). You can
17 see this--here are the--the drift locations are shown by the
18 asterisks and we can just basically look at some of the
19 tensile stresses along these edges of these drifts and basic-
20 ally some stresses that are not terribly high compared to
21 what the rock is capable of withstanding.

22 So, that was what I pulled out of the old CDR to
23 tell you about the repository design. I think it might be
24 appropriate if there's a question or two on the conceptual

1 design that we might take that right now, rather than moving
2 into the new one. So, if you have questions, it might be an
3 appropriate time to ask them about that.

4 DR. CORDING: Mike, just one question on those symbols
5 there. On the principal stresses, is that 3579? What do
6 they represent?

7 MR. VOEGELE: The ratio of the rock matrix strength to
8 the stress.

9 DR. CORDING: Okay.

10 MR. VOEGELE: So, they're safety factors, if you will.

11 DR. CORDING: And, that matrix strength is a cohesive
12 and frictional strength?

13 MR. VOEGELE: Right.

14 DR. CORDING: Um-hum.

15 MR. VOEGELE: Right.

16 DR. CORDING: So, numbers above one indicate that the
17 stress is less than the strength?

18 MR. VOEGELE: That's how I read that diagram, right.

19 DR. CORDING: Thank you.

20 MR. MCFARLAND: Mike, you have after 100 years venti-
21 lated. The drift is ventilated, but the waste holes are
22 sealed.

23 MR. VOEGELE: Yes.

24 MR. MCFARLAND: --that would come into the drift.

1 MR. VOEGELE: Yes.

2 MR. MCFARLAND: And then, radiated into the air and
3 carried out by the air?

4 MR. VOEGELE: Yes. Yes. This is probably a good time
5 to tie this together with the next meeting. We've talked in
6 the past and we will certainly talk again about the 57 kilo-
7 watts per acre areal power density that was used in this
8 design and I'll remind you that that was set as much as an
9 operational constraint--in fact, it was set as an operational
10 constraint to keep the drift temperatures down enough so that
11 we could go back in and do retrieval and maintenance type
12 work and basically subsequently found that that probably was
13 --probably handled more heat than that within the constraints
14 of the post-closure impacts. Okay? The 57 kilowatts per
15 acre is really addressed towards an operational preclosure
16 impact.

17 MR. MCFARLAND: This was rock temperature for--

18 MR. VOEGELE: Yeah. If my memory is correct on that
19 one, it was, in fact, set as having to maintain a certain
20 rock temperature below--was it 50 degrees C for 50 years,
21 right? Is that what it was, Al?

22 MR. DENNIS: Yes.

23 MR. MCFARLAND: Right. Al Dennis is confirming that.

24 DR. ALLEN: Other questions? Yeah, Ted?

1 MR. PETRIE: Yeah, I'd like to remind everybody of a
2 couple things. One, as Mike pointed out, this work was done
3 in compliance with the law to provide a conceptual design for
4 a potential repository for the site characterization activity
5 and this, as you can see, has been accomplished. Our intent
6 over the next few years is again to be in compliance with our
7 regulatory agency's requirements that we provide for compati-
8 bility between the ESF and the GROA, that is the geologic
9 repository operations area. So, we do not intend to update
10 this design any more than is necessary to maintain that
11 compatibility.

12 MR. MCFARLAND: One question in that light if I may.
13 One of the drawings early in Mike's presentation showed the
14 waste ramp surfacing in the drawing of the surface facility.
15 It was on the boundary closest to the west. Now, a
16 different layout within the regions of that boundary could
17 have put the waste ramp to the east within that surface
18 facility and altered the slope appreciably. Had that been a
19 consideration in the original design?

20 MR. PETRIE: Your question is was the slope considera-
21 tion originally designed--

22 MR. MCFARLAND: How firm is the portal location that is
23 being used by Raytheon now in looking at those slopes--

24 MR. PETRIE: Oh, how firm is it? It's preliminary. It

1 will be fixed over the next year.

2 MR. MCFARLAND: Then, you'll do additional design of the
3 surface facilities?

4 MR. PETRIE: We will evaluate it.

5 MR. MCFARLAND: Evaluate--

6 MR. PETRIE: I'm not going to say to what extent we'll
7 do a design. It will be only sufficient to assure ourselves
8 that we can maintain compatibility with a surface facility.

9 MR. MCFARLAND: Um-hum. Thank you.

10 MR. GERTZ: Russ, maybe I don't need to clarify it, but
11 I will just for the record. Our theory would be if we
12 changed location along Exile Hill for the portal, we have to
13 assure ourselves that we could build surface facilities 20
14 years, 15 years from now.

15 MR. MCFARLAND: Of course. Of course.

16 MR. GERTZ: And, that's our consideration and that's
17 what the requirements or the regulations say is make sure
18 when you design the ESF, you consider repository designs.

19 MR. STREETER: I'd like to add a comment on that. The
20 waste ramp portal is in a fairly steeping slope outcrop. If
21 you move it to the east, you're out into the alluvium and so
22 you are constructing that ramp in cut and fill basically and
23 you'd have operations activities in the waste handling area
24 going across that ramp.

1 DR. ALLEN: Okay. Mike, let's go ahead?

2 MR. VOEGELE: Move on, okay.

3 All right. This second presentation is the one
4 where you're going to get sick of hearing me say repository,
5 but I'm going to. Okay. We're going to talk about--we're
6 going to go through the ESF Alternative Study and try to
7 identify the major repository design features that were
8 examined during that study and I'm going to try to show you
9 how we dealt with repository design concepts during the ESF.
10 So, I will be focusing on just a slightly different focus
11 than you've had previously on viewgraphs that you have seen
12 before. So, I'm going to start out by showing you the dia-
13 gram that every other talk that you've had on the ESF starts
14 out with and then very carefully put that aside and say
15 here's what this really means.

16 Okay. This is the same diagram (indicating) and I
17 want to talk about different pieces of that study. This
18 basically was the option generation portion of it. You'll
19 recognize the requirements, the combining, the evaluation.
20 This particular piece was preceded on the previous diagram
21 by--let me put them both up and do a multimedia presentation
22 here for you. We get dancing girls and we've got it all, Las
23 Vegas multimedia. Okay. To compare these, okay, what we've
24 always called options generation and screening, I want to

1 really focus on the repository configuration aspect of the
2 options generation and screening. With respect to the meth-
3 odology, I want to talk about different pieces of what com-
4 prised the methodology so you'll--I will be talking about
5 these different things, some of these different things, in
6 the context of repository design features and then talk about
7 how we did the evaluation and what the findings were, again
8 as much in the context of repository features as ESF fea-
9 tures. So, I'm going to leave this one over here and I'll
10 try to remember to come back to that and show you where I am.

11 Okay. I'll start off by showing you where I'm
12 going. I'm going to start out by talking about the require-
13 ments and concerns for just probably two viewgraphs. And,
14 the points I wanted to make about that is that when we did
15 the requirements that were used in the ESF Alternative Study,
16 we looked at it from a couple of different perspectives. One
17 of them was its ranking as to its potential for discrimina-
18 tion. So, we did not carry every requirement we could ident-
19 ify through the ESF Alternative Study. We focused on those
20 that we knew could provide discrimination between the dif-
21 ferent options and there were three categories of those; one
22 where the performance depended strongly on the features of
23 the option, some where you had higher performance could be
24 obtained by certain options, and then there was the much

1 larger group where the requirements could be included readily
2 and they weren't really a discriminator. I'm going to show
3 you how the repository aspects of that bear on this design in
4 the next viewgraph and that's what I'm calling the cross walk
5 to factors in the influence diagram. The other important
6 aspect of the requirements was we did carry the testing
7 requirements through this.

8 So, what comes off of that viewgraph which is
9 relevant to our purposes this morning really is a diagram
10 you've seen before, but I want to--the box that's highlighted
11 in yellow, I want to call your attention to what those really
12 are. Okay? Those are the repository design features that
13 are in 10 CFR 60, additional design criteria for the geologic
14 repository. And, in particular, you'll find that the ones
15 which turned out to be discriminators, by and large, tend to
16 be in the 133 sequence. And, the 133 sequence is that part
17 of the underground geologic repository operations area that
18 really bears on post-closure performance in the facility.
19 And, I just want to highlight for you the fact that if you
20 remember this diagram, this is the correlation between 10 CFR
21 60 discriminating requirements and the influence diagrams
22 that were used in the evaluations of these options and I
23 wanted to show you how important the major--how important the
24 design features of the repository itself were in this evalua-

1 tion for looking at discriminators. So, that's the purpose
2 of putting this diagram up again.

3 MR. GERTZ: Mike?

4 MR. VOEGELE: Yes, sir?

5 MR. GERTZ: I think you need to clarify again emphat-
6 ically that although we used these requirements as discrimin-
7 ators, we considered all requirements in the performance.

8 MR. VOEGELE: Oh, most certainly. This particular set
9 of requirements that we--I didn't mean to leave you with that
10 impression if I said that. We did develop a full set of
11 requirements. The ones that were of most use in the ESF
12 Alternative Study were those which provided discriminations
13 between the various options. That does not mean that we
14 ignored the rest of the requirements. It just meant that we
15 felt we could meet those other requirements--I don't want to
16 use the word "indiscriminately" between the options--but the
17 way in which we would meet those requirements with the vari-
18 ous options would not discriminate. Okay? So, in fact, I
19 believe the words are right here. The requirements which
20 were ranked low as their potential of discrimination were
21 ranked low because they could be included readily in the
22 option and they did not discriminate between the options.
23 So, we did address them all. We used some for discrimi-
24 nators, okay? So, I think I've probably hammered this one

1 enough, but basically just let me conclude by saying these--
2 reminding you again that these are the repository design
3 requirements and they were involved heavily in the influence
4 diagrams in this study.

5 Okay. The diagram here also shows the compilation
6 of the ESF--compiling the various ESF options. I'm only
7 going to show you one viewgraph on that just so that we have
8 a complete presentation. We did go through a lot of existing
9 ESF configuration material that was in our architect
10 engineer's design files and we tried to identify construction
11 and access methods, whether they were single access or
12 multiple access--and we did have early in this program a
13 single access exploratory facility. It was not until we
14 wrote the environmental assessments where the DOE General
15 Counsel argued that it was necessary to have the secondary
16 egress. At the time of some of the earlier designs, the
17 first ESF designs, we really believed that what we had was a
18 shaft down to the repository horizon and a quick look around.
19 We did not believe we had an extensive facility. So, some
20 of the earlier designs were, in fact, single access
21 exploratory shafts.

22 We looked at configuration subsets which addressed
23 access sizing, the depths or the lengths of the access, how
24 we did the ground support. We looked at different under-

1 ground test level configuration and we looked at some design
2 time lines. From that information, we were able to pull
3 together 52 historical ESF options and there were 13 unique
4 construction and access sets and they had up to 15 configura-
5 tion subsets. On top of that, there were nine underground
6 test level configurations included as part of each of those
7 52 configurations. That was the information that was pulled
8 out of the files prior to the start of this.

9 Likewise, we went into the files and looked for
10 repository information. Now, basically, in this particular
11 study, we drew the line at the time of passage of the NWPA,
12 1983, and only took repository configurations that were in
13 our files subsequent to 1983. We looked basically at that
14 time at mining method differences, major changes in access
15 location, and different repository orientations. Okay? I'd
16 just call your attention to the fact that these are reposi-
17 tory design features that we were looking at for this--at
18 this scheme of things.

19 So, we summarized the information that we found in
20 our files. We looked at the number, the type, the size, the
21 location of the repository access, the construction method,
22 comments that were included in the files with regard to
23 constructability, cost estimates and schedules, non-radio-
24 logical health and safety evaluations, and assessments of the

1 need for development and testing of new equipment. Some of
2 these repository schemes would have required the development
3 of new equipment. In fact, the horizontal emplacement scheme
4 would have required the development of new equipment.

5 Okay. So, what did we find in our files in the
6 historical repository configurations? Basically, there's a
7 table in your books that summarizes some of the attributes of
8 these 15 and let me just highlight some of them for you. We
9 had a couple of pre-conceptual horizontal emplacement
10 designs. We had some two-stage repository developments.
11 Those date basically from '84-85 time frame when we were
12 looking at trying to move the program forward at that time by
13 looking at a staged repository where we would start the
14 repository with a smaller receipt capability and then, while
15 we were taking a little bit of waste and putting it under-
16 ground, we would build a much larger facility with greater
17 capabilities. We had an SCP conceptual design where there
18 was complete separation of the defense high level waste from
19 the spent fuel. There was, of course, the reference layout
20 that was used in the SCP and you'll note that that had 63
21 subsets that were floating around in the architect engineer's
22 files. We had a base, the SCP/CDR design, essentially raised
23 to a new Topopah Spring lithophysal interface. We had a TBM
24 layout that used four blocks. We had a TBM layout that used

1 three blocks. It avoided emplacement drifts across the Ghost
2 Dance Fault. We had a TBM layout that utilized the SCP/CDR
3 outline in elevation. And, remember, this is all historical.
4 This is stuff that was in the files prior to the start of
5 the ESF Alternative Study.

6 We had a TBM layout with the SCP/CDR outline with
7 the elevation raised to the new Topopah Spring contact. We
8 had a SCP/CDR conceptional outline, but we had mining from
9 the south access. We had a TBM layout that had two blocks
10 integrated with the ESF. We had a four panel TBM layout
11 within the SCP/CDR area. We had an older TBM layout and we
12 had a pre-conceptual horizontal emplacement. So, those, I
13 believe, span quite a large range of possible ways to build
14 your repository, but this is what was in the historical
15 files.

16 Now, given the concerns that have been expressed by
17 several agencies, given our understanding of the require-
18 ments, and in fact our understanding of the interpretation of
19 those requirements which has changed quite a bit since we did
20 some of this design work, okay, we set out to combine some of
21 this information, create new options, screen them against
22 requirements, and try to develop a set that we could go into
23 the ESF Alternative Studies with.

24 Okay. So, basically we set out to develop combina-

1 tions of ESF and repository elements in the new option con-
2 figurations that satisfied or addressed regulatory require-
3 ments, the testing requirements, and the comments and con-
4 cerns of the overview organizations. I might say here that
5 one of the biggest drivers of the ESF Alternative Study was,
6 in fact, repository concerns. We had interacted with the NRC
7 and we knew that we had differences of opinion about our
8 ability to demonstrate that we were in compliance with 10 CFR
9 60.21, in particular (c)(1)(ii)(D), which is the one that
10 says you have to look at the alternatives to the major design
11 features of the repository. That was a driver of this par-
12 ticular study. So, when I say we looked at combinations of
13 ESF and future repository elements, there really was a strong
14 focus in that planning stage for this particular program to
15 look at how the repository alternatives would have to be
16 considered because we were setting out to develop information
17 that we could use with the NRC at the time of licensing
18 hearings that said at the time we did this ESF design and got
19 prepared to go underground, we had looked at a future reposi-
20 tory licensing concern. That's the basis of the argument
21 that we've been having with the NRC. I shouldn't use the
22 term "argument" because they are correct. They've been doing
23 what a regulator should do, they've been reminding us that we
24 need to do certain things along this process of getting a

1 license. Okay? And, one of those things is if you're going
2 to build something, if you're going to construct something
3 that eventually becomes part of the repository operations
4 area, there are some procedural aspects in 10 CFR 60 that
5 must be met at this time. So, when I say 10 CFR 60.21 was a
6 driver on this program, it's exactly for that reason. We
7 were trying to make sure that we would put in place docu-
8 mentation that showed we looked at repository alternatives at
9 the time we did this ESF design. So, that's why I keep
10 saying that over and over again and why I'm so sensitive to
11 it.

12 So, what was the method that we used to identify
13 some of these preliminary new options? Well, we tried to lay
14 out combinations of accesses and ESF test panels on a basic
15 repository area boundary and then we tried to specify excava-
16 tion methods and the sizings for the openings. We identified
17 functional assignments of these elements of the future repos-
18 itory, as well as the exploratory shaft facility, and tried
19 to identify how they interfaced with the repository, loca-
20 tions of the various components within that. So, that's this
21 little box right up here (indicating) that I'm talking about.

22 Okay. So, what happened? Well, it resulted in the
23 development of 24 new repository ESF options that emphasized
24 primarily alternative excavation methods, locations of access

1 entries above the regional maximum flood, need for additional
2 exploratory drifting, and flexibility to characterize the
3 site in areas below the MTL. That's not the sum total of the
4 points, but that's probably the most important points that we
5 looked at.

6 Now, the major design features that were included
7 in this development were the means of access, whether it was
8 by shafts, ramps, or various combinations; the locations of
9 those accesses, whether they were in the northeast, the
10 southeast, combinations. There were accesses in this new set
11 of option generations that came from the southwest, as well.
12 I should have put that on there. We looked at the location
13 of the MTL, whether it was in the northeast corner of the
14 block, whether it was in the south. I put the word "combina-
15 tion" on there because there are some facilities that have--
16 the way they're laid out, they kind of look like you have an
17 MTL in both the north and the south and I'll try to show you
18 that when I get there. But, basically, it was either in the
19 northeast or the south. We looked at the excavation method
20 of the openings, whether it was mechanically excavated or
21 drilled and blasted, and you will see later that, in fact,
22 there were various combinations of these things.

23 We looked hard at the total number of repository
24 accesses and, in particular we went into this to make sure

1 that we could demonstrate that the ESF accesses are an inte-
2 grated subset of the total needed for the repository. Now,
3 I'm not going to apologize for anything that we've done in
4 the past, but I will admit that the integration between the
5 ESF and the repository design was probably less than it could
6 have been in an earlier design that we had. And, there are
7 many reasons for that, but again I think that the NRC was
8 particularly correct in this instance when they pointed out
9 that trying to meet 10 CFR 60.21 would suggest that, in fact,
10 you had to take that integration to the point where you could
11 defend that you had the best set of repository accesses, not
12 necessarily the best set of ESF accesses. And, we've been
13 debating that openly for the past couple of years and I think
14 that one result of that series of debates was, in fact, a
15 strong recognition in this study of how well the ESF accesses
16 had to be integrated with the repository accesses.

17 Okay. Well, what does that look like? Well, first
18 I have to make my point, sorry. We've been flashing a lot of
19 diagrams on the board in our meetings. Every time you see a
20 little isometric sketch of one of the ESF options, you know
21 that it has an A-7 or a B-7 which you'll recognize as Option
22 30. Well, I think one thing we've probably forgotten to tell
23 some of the people in this room, that that classification
24 scheme is, in fact, a repository classification scheme, so

1 that when you see an A ESF option, it is actually not an--
2 that has nothing to do with the ESF option. It has to do
3 with the repository configuration that that option is super-
4 imposed upon. And, basically, there were four general repos-
5 itory classification schemes that were used in this study.
6 The first one, the A series, are all single level drill and
7 blast repositories. The B series are all single level TBM
8 repositories. The C series are, in fact, the step block TBM
9 excavated repositories. And, the R series came through from
10 the historical part of this and you'll find there are some
11 drill and blast, as well as mechanical mined repository
12 layouts in the R series.

13 So, what are the 24 options? I don't want to try
14 to do anything with this diagram other than to show you, in
15 fact, that the individual classifications encompass a range
16 of some of these major repository design features; in par-
17 ticular, whether the main test level is in the north or the
18 south, whether they are accessed by shaft combinations, ramp
19 combinations, only ramps, only shafts, and primarily I want
20 to focus on this one which is how many total accesses there
21 are within the repository facility. And, you'll see that, in
22 fact, we were dealing with options here in the A-Class which
23 is the single level drill and blast repository that ranged
24 from four total accesses to six total accesses. Likewise, in

1 the B series, which is the single level TBM repository, we
2 did look at varying the MTLs between the north and the south.
3 We looked at combinations again of shaft accesses,
4 shaft/ramp accesses, and so forth, and again looked at
5 combinations of total repository accesses. In this case,
6 they range from four to five. And, again, in the TBM step
7 block repository options that were being used, we have the
8 same situation. Vary the MTL location, vary the combinations
9 of shafts and ramps that you use, and vary the total number
10 of accesses.

11 Okay. That's 24 new options. And now, I would
12 like to turn to the evaluation portion of this diagram and
13 make the remainder of the comments--or not the remainder, but
14 the next group of comments that I have in the context of
15 evaluation and some of these other attributes of this dia-
16 gram, as well.

17 Okay. The evaluation had some preliminary goals
18 and not the least among those were to reduce the number of
19 alternatives to a suitable number for final evaluations.
20 And, those of you who remember will remember that we got from
21 24 to 17 and then turned around and made 34. Our goal was to
22 reduce it to a suitable number for final evaluation. Inci-
23 dentally, it wasn't that much harder to deal with the 34 than
24 it was the 17. The basic repository aspects, the basis ESF

1 aspects were not that much different. There were schedule
2 consideration differences, cost consideration differences,
3 but the repository, the interfaces, the ESF testing attri-
4 butes with the exception of the sequencing of some of the
5 tests were quite similar between the first 17 and the second
6 17. So, we were really generally dealing with about 17
7 options.

8 Okay. So, we did want to reduce that number down.
9 We wanted to make sure that what we ended up with, in fact,
10 encompassed the ranges of the major design features that we
11 were dealing with that were reasonable within the option.
12 So, the people who did this screening basically--and, you'll
13 see this, I believe it's on the next viewgraph--developed a
14 set of option classes that, in fact, was built upon these
15 major repository design features from the perspective of
16 making sure that they encompassed the range of the major
17 design features--I guess I've got that in the second bullet
18 --insured the options spanned the range of possibilities.
19 So, basically, it wasn't enough just to have a repository
20 difference between these classes. If that were the case, we
21 would have gotten it down to four. Okay? The idea was to
22 make sure that within these individual A, B, C, and R classes
23 of repositories we spanned the ranges of repository design
24 features which were the number of accesses, the types of

1 accesses, the construction method, as well. And, so they
2 basically got their option classes down here--I think this is
3 12. I know it's 12.

4 So, these are the option classes and, as you can
5 see here, they are predicated upon really repository design
6 features and ESF design features, as well. But, here's what
7 the option classes were. They basically wanted to select an
8 option from the 24 plus the historical that had the location
9 of the accesses and the ESF approximately in the same loca-
10 tion as the SCP/CDR configuration. They wanted to insure
11 that the ESF and at least one ESF access was in a substan-
12 tially different location from the one that was used in Class
13 1. So, we were trying to bound the possibilities.

14 With respect to access means, we wanted to make
15 sure we had one that had a total number of accesses less than
16 the SCP/CDR which as you remember was six. We wanted to make
17 sure that we had ESF access by two or more shafts, ESF access
18 by two or more ramps, ESF access by at least one shaft and
19 one ramp.

20 Okay. And then, we looked at construction method.
21 We wanted to have a repository in ESF that were
22 substantially constructed by drill and blast and that would
23 include machine mined ramps, as well, but the emplacement
24 areas had to be developed by drill and blast. The second

1 option that they were looking at, all the construction
2 including the ESF and all the access, which the exception of
3 some testing alcoves, will be done by mechanical mining.
4 Okay? The third construction method option class was to have
5 a combination of mechanical and drill and blast mining. You
6 might have a shaft in the ESF constructed by drill and blast,
7 but the remainder of the repository system would be
8 constructed by mechanical mining and that would include
9 perhaps the second ESF access.

10 The next one down there is the test area configura-
11 tion. We wanted to make sure that the ESF layout including
12 the exploratory drifting that was planned was similar to the
13 Title I or the earlier Title II concepts, one to make sure
14 that we had a class where the ESF layout was substantially
15 different from that and that could include either the size or
16 the scope of the designated test areas, and finally we wanted
17 to make sure that we had an option represented that, as best
18 as we could come up with, integrated the repository and ESF
19 accesses. But, that doesn't mean that these other option
20 classes don't have some of those features, but we wanted to
21 select an option class which definitely stood on its own as
22 having that attribute.

23 So, I want to show you some of the--I think I'm
24 going to show you six of the ESF options that were developed

1 that--excuse me, let me make one more point. The point I
2 want to make is this is 12 and you know we went in with 17.
3 We expanded one of these options to include a number of
4 different mechanically mined methods of the exploratory
5 shafts. So, that's how the 12 got to be 17. Okay. So, let
6 me look at some of those 17.

7 This particular diagram is an A-Class repository
8 and you can tell that by the shape of the repository and the
9 little ladder in here. If you remember when I showed you the
10 original vertical emplacement layouts with the panel access
11 drifts and so forth, this is the layout that goes with that
12 type of repository. Now, this, in fact, is Option #18 which
13 was the base case, the SCP/CDR design, but it did have an
14 early Calico Hills access. Some of the other things, okay.
15 This particular--has six accesses and, as I was pointing out
16 just a few minutes ago, this is a drill and blast convention-
17 ally mined repository. You'll notice this one still has the
18 small main test level. That was maintained deliberately. I
19 did this deliberately. I chose to talk to you from the plan
20 views rather than from the isometrics. I don't know how
21 often we've shown you the plan views for any of these things,
22 but let me basically show you in the plan view.

23 The tuff ramp comes down this way (indicating) and
24 forms the mains. The waste ramp comes over from this direc-

1 tion (indicating). In this particular instance, the emplace-
2 ment exhaust shaft is over here on this side out on the
3 repository perimeter drift. The men and materials shaft is
4 over up here (indicating). Okay. And, there were within the
5 main test level two exploratory shafts. That's where the six
6 accesses come from.

7 Okay. Likewise, here is an A-Class repository
8 (indicating) that has four accesses. This is #23. Actually,
9 that would make it A-7, I believe. Okay? This is one that
10 does not have a vertical exploratory shaft. The testing, in
11 fact, comes down to the ramps in this particular program.
12 Now, in this case, the men and materials shaft is located up
13 here (indicating). The emplacement exhaust shaft is still
14 located over here (indicating). The other two accesses are
15 the waste ramp and the tuff ramp. So, this is a four access
16 A-Type repository. Notice--the reason I'm pointing this out
17 is when I show you the B-Type repository, you're going to see
18 a difference in this shape. Okay? The longer tail down here
19 (indicating) is a characteristic of an A-Type repository.
20 And, again, this is a conventionally mined drill and blast
21 excavation system for the repository itself.

22 Now, I believe that this is a B-Type--yes, this is
23 a B-Type repository. It's a bit more compact. You'll notice
24 it's chopped off. We have less need for this down here

1 (indicating.) Now, this still--I didn't make this clear a
2 moment ago. I told you we carried a horizontal and a verti-
3 cal emplacement scheme through the SCP design process. Okay.
4 At this stage of the game, roughly a couple of years ago, we
5 focused primarily on the vertical emplacement. We are not
6 carrying horizontal as an option. Our primary design is
7 dealing with vertical emplacement schemes.

8 And so this, although it may have some attributes
9 that look like the old horizontal emplacement repository, the
10 diagrams that I showed you before, this, in fact, is a TBM
11 vertical canister emplacement repository and this one has
12 five accesses and those five accesses are the tuff ramp, the
13 waste ramp, the men and materials shaft, the--I lost my
14 emplacement exhaust--emplacement exhaust shaft is actually
15 within the repository block on this particular diagram. And
16 then, I believe we have another--yeah, they're both up here.
17 There's the men and materials shaft (indicating), there's
18 the emplacement exhaust shaft (indicating), and then we
19 should have an exploratory shaft within the testing facility
20 right there (indicating). There's the fifth access
21 (indicating), okay? More compact--generally, I hope I've--it
22 just occurred to me, I may have selected all the ones that
23 have north accesses and not showing you a south access. I
24 hope I'm going to be vindicated on the next slide. So, time

1 for some south accesses, sure, okay.

2 All right. This is also a B-Type repository and,
3 in fact, this is Option 30. This is a mechanically excavated
4 repository. Again, you can tell by the more compact area
5 and, in fact, the emplacement drifts turn off a little bit
6 differently from--they don't have the panel access drift
7 development that's characteristic of the A repository. This
8 one does have a southern access for the tuff ramp, a northern
9 access for the waste ramp. The men and materials shaft is
10 down in the southern part of the block outside of the reposi-
11 tory block proper. The emplacement exhaust shaft is up here
12 by the mains as it is in the previous cases that we showed.
13 This is a four access situation and, as I said, this is a
14 mechanically excavated repository. One thing again, this has
15 a southern MTL. I just point that out to remind you that the
16 design concept that the engineers went forward into, this
17 revised Title 1 and going on into Title II, was based upon
18 Option 30, but it was not strictly Option 30. They made some
19 changes to it that I'll talk about in a moment and I'll tell
20 you why they did that.

21 Okay. I think two more I wanted to show you.

22 Okay. They wouldn't be complete without a C block reposi-
23 tory. This is the one that is a tri-level TBM with a primary
24 southern access. And, this is one where I'm tempted to--

1 actually, this isn't the one. The ones where I told you
2 before that I was tempted to say that they had an MTL in the
3 north and the south are the ones where we go look at Ghost
4 Dance's and go look at Imbricate Fault's and actually have a
5 lot of drifting up here (indicating) which is primarily for
6 testing purposes. It's a different one. But, when I said
7 there's some that I could argue had a combination of a north
8 and south MTL. That's why I said that. This one does have a
9 primary MTL down here in the southern part of the block.
10 This is a five access system, and if I can find them all
11 again, this one has a waste ramp in the north, tuff ramp in
12 the south. Okay? It has an emplacement exhaust shaft up on
13 this end of the block (indicating). It has an exploratory
14 shaft right here (indicating) and it has a men and materials
15 shaft right there (indicating). So, that's a five access
16 block and this is also a TBM, a mechanically excavated repos-
17 itory, with a different development sequence than you saw in
18 the previous TBM and this one was designed with a mind to
19 avoid the Ghost Dance Fault in the emplacement drifts. So,
20 that's part of the reason it's laid out the way it is. It
21 also helps flatten out the repository. There are a couple of
22 reasons driving that.

23 The final one I wanted to show you to show you how
24 we tried to encompass the ranges of these major design fea-

1 tures is one out of the R sequence. Now, this has six
2 accesses in the R sequence and you can find that character-
3 istic of these when you had a situation where we would
4 develop a second exploratory shaft for emergency egress.
5 And, the accesses here are basically the waste ramp coming in
6 from the east over here (indicating). The tuff ramp goes out
7 on the southwest corner in this particular repository design.
8 You don't see that well over here (indicating), but you do
9 see it in the plan view. The tuff ramp was actually in the
10 southwest. Incidentally, I can tell you that the people who
11 looked at this in the ESF Alternative Study really didn't
12 like that southwest ramp. They liked the ramps over here.
13 Men and materials shaft is over here (indicating). There are
14 two exploratory shafts within that test facility. This is a
15 little bit different--this is a modified R from the perspec-
16 tive of it has a larger main test level.

17 So, you can see what I'm trying to do with these
18 six diagrams is try to show you that, in fact, we took four
19 basic repository configurations and changed a lot of things.
20 We changed the access locations, we changed the construction
21 methods, the various combinations of construction methods,
22 and I think that probably shows up best on my next viewgraph.
23 I had to stop somewhere. I was going to color every column
24 to show you the differences, but basically there is no color

1 scheme here, other than to show you the differences between
2 different categories.

3 As I pointed out, we did have four basic repository
4 option categories and those are highlighted like that. I
5 suppose I should have put the base case as a yellow because
6 it really is more like our R-11. This is close to a base
7 case, as well.

8 Within the ESF access construction, you can see
9 that we had differences in the construction technique between
10 the different accesses to the exploratory shaft. You can see
11 that we had differences in the construction technique,
12 between the different accesses to the exploratory shaft. You
13 can see that we had differences in the construction technique
14 within the main test level. You can see that we had dif-
15 ferences in the location of the main test level. You can see
16 that all the repository construction of the ramps and drifts
17 was mechanical, but there were repository configurations with
18 conventional excavations for the repository emplacement.
19 And, finally, the one that I probably need to highlight as
20 much as anything is the differences in total number of
21 accesses for each of these things.

22 My point here is if we hadn't buried these things,
23 they'd all be the same color all the way across. And, in
24 fact, I wanted to emphasize for you the fact that we deliber-

1 ately tried to mix these up so that we did cover the total
2 range of things that you could do with these different fea-
3 tures of the repository that we were dealing with in this
4 study. --probability estimates and try to show you how the
5 repository features really fit into that. And, I want to try
6 to remember to tell you about all these different things in
7 the next bit of my talk.

8 We did look at five probabilities to quantify
9 nature's tree. I think I have nature's tree coming up in a
10 diagram or two. We used that tree to compile some testing
11 outcome probabilities. We needed to assess three other
12 probabilities to solve the decision tree and they were pro-
13 grammatic viability, regulatory approval, and closure, and
14 you'll remember that we looked at retrieval rather than
15 closure at that point in time. We had to assess eight conse-
16 quence measures for each scenario and the decision tree,
17 develop some scaling functions and weights for the MUA, and
18 then solve the decision tree for the overall ranking. What I
19 want to do is talk to these two parts of this evaluation
20 process (indicating) and try to show you where the repository
21 features and repository concerns form an integral part of
22 those decisions and I'll do that by showing you a little
23 diagram right here (indicating).

24 Now, this is the decision tree (indicating) that we

1 dealt with and you'll remember that this part was program-
2 matic viability and then there were two sections in here
3 (indicating) that had to do with testing concerns, early
4 testing and late testing. And then, we had a probability of
5 approval, and then we would do construction operation, and
6 then we had the probability of closure. Now, I'm going to
7 try to take this apart for you, unravel it a little bit in
8 the context of the influence diagrams that went into these
9 probabilities. And, the little orange circles that I've
10 colored in these influence diagrams, this is the influence
11 diagram for programmatic viability. So, there's a--take a
12 pen and do what the graphics people talked me out of doing,
13 okay? This is the programmatic viability part right here
14 (indicating). This is the closure part right here (indi-
15 cating) and this is the approval part right there (indi-
16 cating). So, we're going to go through that--oh, and then
17 incidentally, I'm going to talk about one of these proba-
18 bilities, as well (indicating). So, I'm going to try to show
19 you what role repository concerns played in each of those
20 pieces of the diagram.

21 Okay. I'll start, I believe, with nature's tree.
22 Okay. Any probability that you'll see that's calculated as a
23 result of nature's tree and those probabilities generally
24 include the ones that deal with residual uncertainties; the

1 probability that the site is truly not okay if the early
2 testing and the late testing both say it's okay, those kinds
3 of probabilities that you calculate from nature's tree
4 involve a probability that the site is okay.

5 Now, these probabilities, the probabilities that
6 the site would be okay from early testing or not okay from
7 early testing and so forth, these probabilities were calcu-
8 lated by the testing panels, okay? This probability over
9 here (indicating), the probability that the site is truly
10 okay, was not calculated by the testing panels. It was
11 calculated by the post-closure health and safety panel. And,
12 the reason it was is because the--well, I guess the primary
13 reason is because the people who thought about performance
14 assessment kinds of things were on that panel--but with
15 respect to what I'm trying to say this morning, the reason
16 it's important is because this particular probability
17 involves the total system. It does not involve just the
18 site. So, you cannot say a site is okay. You have to say a
19 site with a certain repository configuration superposed upon
20 it is okay. And, so the deliberations that led to the evalu-
21 ation of this probability that the site is okay involved
22 discussions of the post-closure impacts of the different
23 attributes of the different repositories. Okay? So, often-
24 times, we don't emphasize that point. We slide right by this

1 and people see the, you know, fancy formulas for calculating
2 these residual uncertainties and, I guess, the point I don't
3 feel we've probably mentioned or emphasized is how that
4 probability depends on the probability that the site is okay
5 which depends on what the impacts of the repository itself
6 are on the site.

7 So, you go back through the transcripts of the
8 post-closure health and safety panel, you will find that we
9 were debating major features of the repository as the things
10 that would cause these impacts that would lead to a ranking
11 different between whether the site was okay depending on
12 which repository. I guess the other way of saying that is
13 the probability that the site is okay is not a unique number.
14 There are 34 probabilities that the site is okay that were
15 carried forward in this study.

16 So, back on this diagram (indicating), what that
17 means is this part--that's nature's tree that I have up
18 there. Tying that back to the decision tree, that means that
19 the kinds of numbers that you deal with related to these
20 things are the simple testing numbers. Okay? The kinds of
21 numbers that you come up with in these things that deal with
22 residual uncertainties involve the repository considerations.

23 Okay. So, let's move on to the piece of that that
24 I was going to talk about and there's no neat way to talk

1 about these. They're all so intertwined that no matter what
2 I say, I'm going to be saying wait until you see the next
3 viewgraph. So, just bear with me. We'll go around in cir-
4 cles for a while. I wanted to talk about the NRC/NWTRB
5 acceptance right here. First of all, since I have the soap-
6 box this morning, let me make a comment about the program-
7 matic viability influence diagram. Many people view that as
8 --I should say they don't necessarily view that as being as
9 technical of a decision as I would personally view it and I
10 would like to go on record as long as I have the opportunity
11 to make some statements about this programmatic viability.
12 Now, there are a lot of things on this diagram that have to
13 do with schedule and things of that nature. There are also a
14 lot of deliberations that were done during the programmatic
15 viability discussions that were highly technical in nature,
16 not the least of which has to do with the NWTRB and the NRC
17 concerns. I'd like to let you know that there were panels
18 dealing with influence diagrams that were faced with ques-
19 tions about the difference between what would you personally
20 as a tester want to do versus what does the NRC think and
21 what does the NWTRB think? Okay. On some of those delibera-
22 tions, we said--the testing panel, for instance, was a good
23 example. They said I would rather not assess the question of
24 whether or not the NRC way of doing it or the NRC suggestions

1 are the best way to do it or whether the TRB suggestions are
2 the best way to do it. I would like to assess how I, as a
3 tester, feel this should be done. And, so that left us with
4 a situation that said, well, somebody has to assess whether
5 or not we are, in fact, making a good technical judgment with
6 what we're doing, whether we're accommodating the NWTRB
7 concerns or the NRC concerns. So, the point I'm trying to
8 make here is this box right here (indicating) is not neces-
9 sarily whether our regulator is going to be happy with us and
10 whether one of our oversight agencies is going to be happy
11 with us; it also addresses the technical aspects of whether
12 or not we're doing the right things in our characterization
13 program. So, I want to give some credit to the people who
14 were on that programmatic viability panel. They were addres-
15 sing technical questions and, in fact, I've said a bit about
16 the smiley faces and the dots and there's nothing subliminal
17 in that. We could have used dots for both of them. It
18 wasn't like we had to make the NRC happy. I mean, it's just
19 basically we wanted to address the concerns. So, don't pay
20 any attention to the bullets on there.

21 What I wanted to point out here for you though is,
22 in fact, there are a couple of probabilities in this column,
23 as well, that were assessed and considered by the program-
24 matic viability panel that bear heavily on repository fea-

1 tures. Okay. As I mentioned previously, the probability
2 that the site is not okay, given that it's okay from early
3 testing and okay from late testing, involves that probability
4 that the site itself is okay which involves a ranking rela-
5 tive to which repository you put in that site. Okay? I want
6 to point out again the probability of regulatory approval was
7 also considered by those people in the programmatic viability
8 panel, as well. You will see shortly that the probability of
9 regulatory approval is very heavily dependent upon repository
10 features.

11 Okay. So, let's skip the listing of the NWTRB
12 concerns. I always feel guilty reading them to you. I'll
13 just remind you of the NRC concerns just in case you hadn't
14 seen them or don't remember them off the top of your head.
15 They generally have to do with the testing program. More
16 drifting, not clear we can find blast induced fractures.
17 Wanted to see in situ waste package tests. Thought there was
18 some incompatibility between the tests and the construction
19 operations. Thought we had some scheduling problems with
20 respect to our proposal that we would use. Some of the space
21 that had previously been used for one test to run a different
22 test. And, finally, again, very likely to be inadequate.
23 So, those were the NRC concerns.

24 Let me hop over to the likelihood of construction

1 or operation approval. That's the probability of approval
2 there. And, I want to emphasize a couple of things for you
3 here. This whole thing is going to build up like, you know,
4 a big punch line. So, bear with me. These consequence
5 estimates that were made depend on two things. They depend
6 on some repository aspects that were dealt with with preclo-
7 sure panels and they were cost and schedule, environmental
8 concerns, health and safety concerns, and direct costs. And
9 those were preclosure consequence estimates. There were also
10 post-closure consequence estimates and they were the
11 releases. Okay? Now, where I'm going in this talk is really
12 to end up with a hearty discussion about this release calcu-
13 lation. But, the point I want to make here is the likelihood
14 of approval is very heavily dependent coming up this panel
15 which is the technical confidence part of this diagram on
16 repository concerns. And, I neglected to color in this one,
17 too (indicating). This sequence should also be colored and
18 that's the residual uncertainty estimates which is again one
19 of those numbers that you calculate from nature's tree that
20 deals with the impact of the repository on the site. So, my
21 point is all these points that are coming up through the
22 technical confidence aspect of this influence diagram are
23 very heavily or dependent to some degree upon a repository or
24 a repository features.

1 The same thing is true for the retrieval or closure
2 diagram that you have in your book. Okay. I'm running a
3 little bit slow. So, I'm going to speed up just a bit here.
4 Okay. Likewise, the same thing is true. These costs here
5 (indicating) are repository costs, but again I want to talk
6 about the prior release estimates, the posterior release
7 estimates, the consequences, the residual uncertainty. So,
8 there's the insufficient technical confidence. Okay? This
9 whole part of this diagram, this feeding the likelihood of
10 retrieval, is based upon things that bear upon the reposi-
11 tory.

12 I was going to wow you with the next four figures.
13 The next four figures are the full influence diagram for the
14 post-closure health effects portion. I'm going to spend the
15 remainder of these few minutes talking about the releases.
16 The first one is basically the number of health effects and
17 it shows you the population risk and the doses to indivi-
18 duals. The second part of the diagram begins to deal with
19 pathways and you see unsaturated and saturated zone pathways
20 on that diagram. The next diagram has to do with the
21 engineered barrier system part of it and how the seals work
22 and how much water contacts the waste.

23 The last diagram is the one I really want to get to
24 and that's where you look at the ESF and the repository-

1 induced changes. So, the next viewgraph basically summarizes
2 all four of those diagrams on a single diagram. This is
3 actually the diagram that we used in the ESF Alternative
4 Study. Okay? And, I'm going to try to show you some points
5 on this. Now, the way this worked was we had a question to
6 answer for each of the 34 configurations addressing each of
7 the lowest level bubbles on the influence diagram. Okay?
8 And, the particular way this is laid out, there are three
9 pathways that you can get from this part here (indicating),
10 changes in state of disposal system, up to the releases.
11 And, those pathways are generally gaseous transport, satur-
12 ated-zone transport and unsaturated-zone transport. You can
13 basically think of them as that.

14 Okay. So, the questions were like this--let me do
15 one more thing before I do that. There are two general sets
16 of lower level bubbles feeding this point that says "changes
17 in state of the disposal system". What we're dealing with
18 right there is do you do anything in the exploratory shaft
19 facility that would change the releases to the accessible
20 environment of the repository system or the total system?
21 Likewise, is there anything about your repository that you
22 would do that would change those releases? And, so if you
23 look at repository, the things that we identified in the
24 influence diagram that could have an impact on these releases

1 were repository construction method, the number and type of
2 repository accesses, the repository location, the rock sup-
3 port system, the repository configuration. We had a compar-
4 able set of questions for the ESF configuration and those
5 were how was the ESF connected to the repository, nature and
6 extent of Calico Hills penetration, fluid materials usage,
7 ESF construction method, the ESF accesses which were fed by
8 the ESF type and the ESF access location. Now, for each of
9 those last bubbles that I just talked about, we had to answer
10 a question for each of the 34 repository ESF option pairs and
11 that question was is there anything about the repository
12 construction methods relative to Option X that would lead to
13 a change in the increase of radionuclide release along this
14 pathway, along that pathway, or along that pathway? Okay?
15 We had to identify those things.

16 This is the study or the part of the study where
17 the preference for not having a gravity connection between
18 the ESF and the Calico Hills level came out. This is the
19 part of the study that said you do better if you raise the
20 elevation of the repository. This is the part of the study
21 that said those kinds of things that had to do with the
22 number of accesses, the types of sealing that you would put
23 in those accesses, all the repository design features came
24 out of there. This is the part of the study that identified

1 --that gave the most points to those repository options that
2 used the least water. Okay? This is the one that gave more
3 points to ESF options that used less water, that used, you
4 know--that didn't penetrate the Calico Hills in the reposi-
5 tory block.

6 Okay. I hope I've made my point here that basic-
7 ally the answer to this release question is totally dependent
8 upon major features of the repository and how you vary them
9 and major features of the ESF and how you vary them for the
10 purposes of this study.

11 Okay. And, I want to close by just showing you a
12 quick summary of the kind of technical features that we
13 debated when we were looking at those questions. If you
14 will, these are our performance measures for answering those
15 questions about whether or not the releases changed along
16 some of those pathways. The kinds of things we dealt with,
17 okay--and this axis over here, if you will, is a release as a
18 fraction of the EPA standard (indicating) and we had a base
19 case and we predicted some numbers and we looked at things.
20 Okay? Fracture flow changes this--okay, well, let me show
21 you the top axis first.

22 The major elements of that diagram where we estab-
23 lished performance measures had to do with the repository
24 location above the water table, the post-emplacement charac-

1 teristics of the engineered barriers and the seals of the
2 repository. Okay? The repository access types, numbers, and
3 locations, ramps versus shafts, changes in the water table
4 level--now, there is a natural barrier change, not an
5 engineering barrier change--how the ESF is connected to the
6 repository, how much fluid material we used, nature and
7 extent of the Calico Hills, the construction methods, the
8 repository configuration, and the rock support system for the
9 repository. Okay? And, you can see if you want to look in
10 here the kinds of things that we were debating. Now, we were
11 debating effectiveness of seals within ramps versus effec-
12 tiveness of seals within shafts. We were debating--and you
13 can see basically that we felt that if the seals worked, the
14 ramps were probably better than the shafts. However, if the
15 seals didn't work, we felt the ramps were probably worse than
16 the shafts and there's a logic behind that that can be traced
17 through and it has to do with whether or not we really want
18 to seal that repository block or not. There still is that
19 debate raging within the technical community.

20 Okay. Locations, we were dealing with the access
21 numbers. We were looking at locations above the flood
22 plains. We were looking at few accesses being better, but on
23 the other hand, if water vapor removal through the ventila-
24 tion system turns out to be a real plus in this system, then

1 more accesses is better. Okay? Above the maximum flood
2 plain levels, access locations outside of the block which
3 favored ramps were considered. Changes in water level,
4 that's pretty obvious.

5 ESF connection with the repository, we thought that
6 perhaps it would be better to be not connected if it was
7 outside the repository emplacement area. Fluid material
8 usage, if we were dealing with fracture flow questions less
9 fluid usage is probably better. If we were dealing only with
10 matrix flow, it probably wasn't an issue. Better if no
11 penetration in the Calico Hills, now that's not necessarily
12 what I would call a technical conclusion. That is an argu-
13 ment that says at this point in time before we start site
14 characterization, knowing that we will eventually know more
15 about this site, it might be prudent to avoid a direct con-
16 nection between the repository horizon and the Calico Hills.
17 It may turn out that that's insignificant. It may not mat-
18 ter, but prudence might suggest that you would rank an option
19 better if it did not have that direct connection.

20 Likewise, we looked at extend of the damage zone
21 and so forth, extraction ratios, cross sections, and things
22 of that nature. Those were debated in answering those ques-
23 tions that I had on this previous diagram.

24 So, that's about as far as I wanted to go with the

1 repository attributes of the ESF Alternative Study. I think
2 the combination of these two diagrams says it all to me.
3 Okay? This is what drove the ESF Alternative Study, solving
4 this decision tree for the consequences on each of these
5 different tails coming off the decision tree. And, what I
6 wanted to show you was the pieces of the decision tree
7 involved--we evaluated these probabilities by the use of
8 influence diagrams and my goal of this talk was to show you
9 that, in fact, these influence diagrams were predicated upon
10 a knowledge and understanding of the impacts of the different
11 components of the repository itself. And, I apologize if we
12 had not brought that out hopefully as clearly as I brought it
13 out this morning. We've put these diagrams up so many times
14 and it's clear to me. I guess I shouldn't have expected you
15 guys who didn't spend all those months sitting in the rooms
16 where we argued these diagrams would have the same apprecia-
17 tion for these diagrams as some of us. I really hope that
18 that gives you a better feeling for how the repository played
19 a role in the ESF Alternative Study.

20 Are we close to your break time, Ted? Do you want
21 to take questions now?

22 DR. ALLEN: Well, let's see if there are any questions
23 here.

24 MR. VOEGELE: Okay.

1 DR. ALLEN: Don?

2 DR. DEERE: Well, mine is not a question, just a com-
3 ment. I think that you have done what you set out to do and
4 that's to give us a better understanding because you went
5 through this in a logical way and it was certainly very
6 helpful to me and I'm sure to the others.

7 MR. VOEGELE: Thank you.

8 DR. DEERE: Appreciate it.

9 MR. VOEGELE: Okay.

10 DR. ALLEN: Not that the previous ones have been illog-
11 ical, but it's all together in one package here.

12 Well, why don't we then declare a break for 15
13 minutes until 10:50.

14 (Whereupon, a brief recess was taken.)

15 DR. ALLEN: May we reconvene, please?

16 Well, Mike, if your voice is holding out, we'll
17 continue.

18 MR. VOEGELE: While people are sitting down, I remem-
19 bered a viewgraph--it's not in your package--that I had
20 wanted to show the group this morning. I mentioned earlier
21 that we did do--perhaps did not mention earlier. We did do a
22 small conceptual design study for each of the repository
23 configurations and this is half of the document right here
24 (indicating). I wanted to show you the table of contents of

1 this. And, basically, this is reference material that was
2 given to each of the participants in these evaluation studies
3 and it tabulates information that you've seen before like the
4 concept sketches, the isometrics, the plan views, and so
5 forth. It has a diagram that shows the ESF repository inter-
6 face, the MTL layout, stratigraphic columns and sections
7 where they were available and then some information on sur-
8 face disturbances. Now, those are the sketches that are in
9 this package and there's one of these for each of the 34
10 repository options.

11 There are also some data sheets. Now, it says
12 summary of selected data. What's on that sheet are things
13 like coordinates of locations, the lengths of drifting, the
14 diameters, the sizes of the features of the repository.
15 There's a comparable one for the ESF for each of the levels
16 in the surface facility. So, you could go to this diagram
17 and you could pull up how much drifting was going to be
18 taking place, what size it was going to be, and then you
19 could further go on down and find out things like what kind
20 of materials were being used, the amounts of water, a little
21 bit about the schedule. And, likewise for the repository,
22 there was quite a bit of detail. There were narrative
23 descriptions of the repository, descriptions of construct-
24 ability, and operation. These were assessments by the mining

1 engineers who developed these repository concepts. And then,
2 they talked about how the ESF openings would interface with
3 the repository, how this would work together, impact on MTL
4 movements, base case design deficiency comments. These are
5 engineers telling you why this new design might be better
6 than the older designs that we were looking at and so forth,
7 physical features of the layouts, surface disturbances,
8 summaries of repository materials and water usages, and
9 summaries of repository excavation lengths and areas.

10 That information was available to us during the
11 deliberations and I can assure you that there were many of us
12 who spent evenings going through those tables and tabulating
13 things like water usage and material usage, the types of
14 materials, lengths, and so forth so that we could compare
15 these repository designs one against the other. So, you
16 know, when we said less excavation length is better or ramp
17 sealing is better, we had tabulations that we were using in
18 our deliberations that were captured in the transcripts of
19 those deliberations that summarize just exactly what the
20 differences were.

21 Okay. I was asked one more question during the
22 break and the appropriate time to answer that question is
23 about six viewgraphs or seven viewgraphs hence. So, if you
24 see a viewgraph that has a picture of the repository horizon

1 on it and I forgot to answer your question, just raise your
2 hand and I'll remember what you're talking about.

3 Okay. The next talk, the final talk, is entitled
4 Potential Impacts of the Revised Exploratory Studies Facility
5 Design on the Repository Interfaces. And, what we're going
6 to do here is going to look at four aspects of the repository
7 design considerations and try to bring together some of the
8 comments that were made in the previous two talks and focus
9 them in the direction of what has to be done in the future to
10 keep the repository program and the ESF program tied together
11 well.

12 The first thing I want to do is talk about the
13 repository interfaces from the old SCP exploratory shaft
14 facility design. I thought I'd do that by showing you a
15 couple of pictures. This picture (indicating) is the picture
16 that goes with the table that I showed you first thing this
17 morning where the exploratory shaft actually did go into the
18 Calico Hills. This was the exploratory shaft design that was
19 being used at the SCP/CDR time frame. Now, the picture you
20 have in your notebook, I couldn't find a black and white
21 drawing of that one. I couldn't find the SCP consultation
22 draft. The only real difference between the picture you have
23 in your books in this one is the tail going down into the
24 Calico Hills. And, in fact, the picture you have in your

1 books, I believe, is a black and white version of this one.
2 Let me make sure I haven't lied. I think they're pretty
3 comparable. So, that was the only real change between the
4 SCP conceptual design and what went out in the SCP Chapter 8
5 after it was revised. We took the Calico Hills penetration
6 off of that.

7 The point that I need to make with respect to the
8 purposes of this presentation, however, is that those design
9 activities were accompanied by a set of controlled drawings
10 which were intended to be of use to manage the interfaces
11 between the ESF design and the repository design. And,
12 they're listed here. This is the interface control drawing
13 package that existed at the time of the SCP conceptual design
14 and the preparation of the SCP. I wanted to show you one of
15 these, in particular, which you've seen in a cleaner version
16 this morning. I thought I'd show you the scruffy version so
17 you would recognize, in fact, it was an engineering drawing.
18 And, basically, the coordinates of a number of points were
19 controlled and the cross sections in several of these areas
20 were actually laid out as controlled drawings so that when
21 the repository designers and the ESF designers were con-
22 strained to do things, it would fit together. So, that was
23 the old interface control drawings.

24 As Ted mentioned to you this morning, there is, in

1 fact, a new set and I believe that's probably one of the
2 punch lines of my next one which was to talk about the repos-
3 itory design considerations that were relevant to the resump-
4 tion of ESF design activities. I will get back around at the
5 end of this to talking a little bit more about the repository
6 interface control drawings that came out of a result of the
7 resumption of ESF design activities.

8 I want to keep that focused, however, initially on
9 the ESF Alternative Study because it was the results of the
10 ESF Alternative Study that were factored into the restart of
11 the ESF design activities. And, I thought I'd put this
12 diagram up just once again as a brief summary to show you the
13 kinds of things that were most significant factors in the
14 Exploratory Studies Facility Alternative Study.

15 We talked about the programmatic viability tech-
16 nical questions. One of those things was responsiveness to
17 the TRB and the NRC concerns, but remember there were also
18 some repository technical aspects in there. The probability
19 of regulatory approval and the post-closure releases is what
20 we spent most of our time talking about just a moment ago and
21 these probabilities that the site is not okay given that the
22 testing results showed okay. Again, I reminded you that
23 those were, in fact, dependent to some degree on the reposi-
24 tory that was built in that site.

1 Okay. Now, what came out of that study were a
2 number of potentially favorable design features. I just
3 wanted to show you again that the repository aspects of this
4 on this tabulation, the points that are clearly repository
5 aspects--because this is the results of the ESF Alternative
6 Study and this is what was used to start the Title II design
7 up again, to restart the ESF design activities. So, we were
8 talking about minimizing the repository accesses including
9 the ESF openings, we were talking about mechanical excavation
10 of accesses and drifts, no direct gravity connection between
11 the emplacement area and the Calico Hills unit. I think
12 that's clear. I've often said that in other ways. People
13 often say that other ways, but basically we do not have a
14 shaft going to the Calico Hills unit within the repository
15 block proper. Maximize the distance between the repository
16 and the water table, avoid the emplacement drifts intersect-
17 ing the Ghost Dance Fault. Down here (indicating), you tend
18 to get into more testing related features.

19 So, those are some repository features that came
20 out of the ESF Alternative Study, as well as some ESF fea-
21 tures that came out of the ESF Alternative Study. And, I'd
22 like to show you a little bit about how we arrived at the
23 design concept that was the basis for resuming the ESF
24 studies and then perhaps show you a little bit--let me just

1 do this first, okay, a summary.

2 Okay. The basis for selection of reference design
3 concept again was the highest ranked options influenced by
4 several design features and they were the MTL location flexi-
5 bility, the mechanically mined accesses, no gravity pathway,
6 distance above the water table, not crossing the Ghost Dance
7 Fault, maximizing the exposed rock, flexibility for early
8 drifting, two intercepts of the Ghost Dance Fault in Topopah
9 Spring, and a minimum number of accesses. That's just a
10 bulletized tabulation of what was on the previous page.

11 So, how do we take that and go into a design con-
12 cept? Well, we all remember that Option 30 was the highest
13 ranked option in the ESF study. In fact, it was the only
14 option that was laid out at that time that did not have the
15 direct gravity connection and it was also very responsive to
16 some of the outside concerns. But, it did not have all of
17 those favorable features that we just tabulated on the prev-
18 ious page. Okay? In fact, the muck pile in that option
19 would have been visible from the highway. The water table
20 distance was not elevated in that particular design. That
21 design did not deliberately avoid emplacement drifts crossing
22 the Ghost Dance Fault. And, the MTL location that we had in
23 Option 30 was, in fact, in the south end of the block and the
24 ESF Alternative Study did not express a preference as evi-

1 denced by the sensitivity studies for the location of the
2 MTL. However, there were earlier expressed preferences
3 within the program for an MTL in the northern end of the
4 block. And, so it was basically decided that that would be a
5 favorable feature to enhance Option 30.

6 So, the second little bullet under each of these
7 things basically said that we did address the question of the
8 location of the muck pile during the design study that was
9 just completed. We will address the question of the distance
10 above the water table being elevated in the Title II design.
11 We will address the question of avoiding the emplacement
12 drifts crossing the Ghost Dance Fault in the repository
13 design and look at the location of the MTL for the earlier
14 preference in the north in that design study, as well.

15 So, the guidance that was given to the architect
16 engineers was to proceed with Option #30 enhanced by these
17 following three items; locate the MTL in the northern part of
18 the block, transport the excavated rock and dispose of it in
19 an aesthetically more acceptable manner, and include an
20 optional vertical shaft to facilitate acquisition of sci-
21 tific information if needed in the future. That is a result
22 of a residual concern of the testing community in the ESF
23 Alternative Study. Basically, we do not have a direct verti-
24 cal pathway where we can characterize the site within Option

1 30. I did this for a reason. That is the concept for start-
2 ing the engineering studies.

3 We did not have in this particular option an
4 expressed goal to utilize these exploratory shafts--or excuse
5 me, utilize either the--I believe that's the emplacement
6 exhaust shaft and that's the men and materials shaft (indi-
7 cating) as part of the exploration program for site charac-
8 terization. And so, as I said, if you're coming in ramps
9 from the east, you do see a vertical section through the
10 site, but you do not see a continuous vertical section
11 through the site. And so, basically, there is some residual
12 concern on the part of the hydrologists in the program that
13 you may need a continuous vertical section to adequately
14 characterize the hydrology above the block--the repository
15 block and that was the reason for adding the third bullet.
16 So, there actually was some design work in that design study
17 to make sure that we would have a vertical shaft as part of
18 this process. And, you can see--I wouldn't even want to tell
19 you what those numbers are for because Ted showed you two
20 diagrams this morning that have his numbers on them.

21 DR. DEERE: Well, yeah, I was going to ask is this your
22 drawing and did you put those numbers and, if so, what did
23 you mean when you put those numbers? Because I became con-
24 fused yesterday and this morning.

1 MR. VOEGELE: Okay. The numbers actually are--the age
2 of these, they need more dates. The age of this particular
3 diagram is such that that was an indication of the phasing of
4 the design studies at the time that this particular drawing
5 was created. It is not a current drawing with respect to the
6 phasing of the design studies. It was the only colored
7 version I had in my notebook this morning when I pulled it
8 out. So, the numbers on here are no meaningful to my pur-
9 poses. What Ted showed you with respect to his current
10 thinking is, in fact, the Department's current thinking.

11 Okay. So, for the purposes of this presentation, I
12 wanted to emphasize, in fact, that six interface drawings
13 were generated as a result of this design study and they are,
14 in fact, relevant to interface control for the repository.
15 There's one for the repository/main test area boundary inter-
16 face. There is a general repository layout and plan. There
17 are some for the ramps, repository main drifts, and there's
18 repository boundary interface. Now, I didn't put copies of
19 those diagrams in my presentation. I only wanted to empha-
20 size the fact that part of the product from this design study
21 was, in fact, interface drawings for the eventual repository
22 so that we do know how that impacts the repository. And,
23 that will be--well, let's go on because I'm going to scoop
24 myself if I'm not careful here.

1 I wanted to emphasize once again the role of 60.21
2 in this study and that deals with the comparative evaluation
3 of alternatives to major repository design features. I want
4 to show you a couple of examples of what that means or what
5 the impacts of that are. First of all, let me say that with
6 respect to 60.21, that's (c)(1)(ii)(D)--I have nightmares
7 about that piece of the regulation, slip one by me--okay. It
8 deals with paying particular attention to the features of the
9 repository that will contribute to longer radionuclide con-
10 tainment and isolation. I want to emphasize that it was, in
11 fact, a significant consideration in the scope of the ESF
12 Alternative Study for at least two reasons, okay? First of
13 all, we have to deal with alternative features and the isola-
14 tion related impacts and make sure that those have been
15 considered, and secondly, we have to make sure that the
16 repository features important to the selection of the concept
17 for starting the engineering studies for the ESF have been
18 defined and, as I mentioned earlier, we believe that it is
19 incumbent upon us to make sure that we have documented at
20 this stage of the program that we have, in fact, done that
21 work necessary to meet 10 CFR 60.21, so that if we do eventu-
22 ally go to licensing for the site that we have documentation
23 that this repository requirement was considered at the appro-
24 priate time in the process. Okay. And, finally, the compar-

1 ative evaluation is, in fact, relevant to defining the trade
2 studies that we need to do for the ESF Title II design.

3 So, let me, at the risk of--at least, I'm showing
4 you a different version of it every time I show it to you. I
5 could be showing you the same viewgraph each time I say this
6 same thing over again. Okay. Again, I want to remind you
7 about these. These are the kinds of features that are rele-
8 vant, we believe, to 10 CFR 60.21 considerations. Okay?

9 Those are things like the number of ramps, shafts, and total
10 number of accesses, mechanically mined versus conventionally
11 mined; the gravity connection; the distance above the water
12 table; avoiding the drifts crossing the Ghost Dance Fault;
13 and, I think the rest of these are testing related. So,
14 those are the kinds of repository alternative design fea-
15 tures. We considered during the ESF study alternatives to
16 those type of design features for the repository to make sure
17 that we could answer the 10 CFR 60.21 question.

18 So, let me show you in terms of a couple of view-
19 graphs what we didn't address yet which will be addressed in
20 the future. The first one of those is, in fact, the eleva-
21 tion of the repository horizon. Okay. That's what's in your
22 book. I guess, let's get fancy. I was able to talk the
23 Sandia people into giving me a real nice version. So, we'll
24 use that one. Basically, this is the repository concept

1 (indicating) and you can see the Topopah Spring TSw1 and TSw2
2 unit and the units above that. And, below it, the Calico
3 Hills unit, the Bullfrog, and so forth, and the tram going on
4 down. Now, the question that was asked during the break was
5 how did one arrive at the elevation of the repository horizon
6 for the conceptual design? And, basically, there were a
7 number of features that were considered. First of all, the
8 units in that part of the world are, in fact, dipping about
9 five or six degrees, if I remember correctly, and basically
10 we are bounded within that block by rock on the lower portion
11 which is the vitrophyre, glassy, it's not considered to be
12 the best rock we could put a repository in and bounded above
13 it by--still within the Topopah Spring--by a rock which has a
14 high lithophysal content. It has cavities which are remnants
15 of the deposition process. And so, basically, the repository
16 horizon that was used for the SCP/CDR was basically fit into
17 that. It was on the south part of the block. It was above
18 the vitrophyre on the north part of the block. It was below
19 the lithophysal contact and it was made as flat as it could
20 be within that stratigraphic horizon and basically that's
21 where that came from.

22 Now, with respect to the outcome of the ESF Altern-
23 ative Study, we do know that we would, in fact, like to raise
24 that repository horizon above the water table. There are a

1 couple of ways you can address that and I think I can show
2 you in a moment, but let me basically show you the easiest
3 one. And, I apologize for this drawing. We were unable to
4 fix it in time. This is obviously the old exploratory shaft
5 facility. Basically, geologists have re-looked at the strat-
6 igraphic pick of the hole in this part of the block and have
7 concluded that, in fact, that there probably was--probably
8 could have done a better job picking the contact when they
9 looked at it previously and believe now that the lithophysal
10 zone TSw1/TSw2 contact is about 140, I believe, feet higher
11 in this part of the block. And so, one obvious thing to do
12 considering the results of the ESF Alternative Study, which
13 said a block being higher above the water table is probably a
14 better performer than your base case, would be to raise this
15 up that 140 feet. And, in fact, there is activity going on
16 right now to look at the possibility of doing that. So,
17 that's why I drew that that way. I think I summarized it in
18 the next viewgraph.

19 Okay. The potential increase in that unit contact
20 may allow us to reduce the grade by changing the inclination
21 of the repository plane. It also may allow an increase in
22 the primary area that I showed you before which is the thing
23 that's--the turtle shell on its side or those expansion areas
24 that I showed you because now those are to a large degree

1 predicated upon the location of that lithophysal zone con-
2 tact. So, we may have even larger areas. Our preliminary
3 indication yesterday is it doesn't make much of a difference
4 on the scale we're looking at maps. The dips are five
5 degrees of the rock mass out there. So, coming up 140 feet
6 doesn't move something laterally very far in a relatively
7 shallow dipping horizon.

8 Okay. However, being able to raise that horizon
9 may better facilitate some of those alternative concepts we
10 looked at; for example, the step design. I want to empha-
11 size, however, that those design studies have not yet been
12 performed and, as I indicated earlier, some of those are
13 Title II trade studies and some of them, in fact, would be
14 related to repository design studies.

15 All right. I wanted to point out before I get to
16 the conclusion of this a couple of other attributes or con-
17 siderations from the old SCP/CDR/ESF design that are still
18 relevant today that we--I think we have either already
19 improved upon these or, in fact, can still look at improving
20 upon these. These are--

21 DR. DEERE: Mike?

22 MR. VOEGELE: Yes, sir?

23 DR. DEERE: Excuse me, I wonder if before we get into
24 that because I see the next three or four are very detailed

1 ones, back on the potential repository horizon alternative,
2 these were based on new picks of the lithophysal zone which
3 they picked higher up, is that correct?

4 MR. VOEGELE: Correct.

5 DR. DEERE: Now, was that on one side or the other of
6 the Ghost Dance Fault or was it farther to the south or
7 farther to the north? How good was the control of the new
8 picks?

9 MR. VOEGELE: If Russ Dyer is in the room or somebody
10 who has been paying more attention to that, following that,
11 do you want to answer that question, Russ?

12 DR. ALLEN: Russ, would you come forward?

13 DR. DYER: I'm Russ Dyer of the Project Office. I think
14 it was a pick on the core out of G-4.

15 MR VOEGELE: I think it was G-4. I was just about to--

16 MR. DYER: Which Mike is going to show you where it is
17 right here.

18 MR. VOEGELE: Yeah. I'm sure it's G-4 which was what
19 was originally a pilot hole for the original exploratory
20 shaft. So, actually, relative to the Ghost Dance, it's quite
21 close. But, there was only one hole where they re-evaluated
22 --where they wanted to change the pick. Is that correct,
23 Russ, a single hole?

24 MR. DYER: Yes.

1 MR. VOEGELE: Yes, I think it was--and, the hole was G-
2 4.

3 DR. DEERE: Yes, but that's where you don't expect--or
4 you don't seem to have found very much offset anyway on the
5 Ghost Dance Fault.

6 MR. VOEGELE: Right, right.

7 DR. DEERE: So, isn't that a rather large extrapolation
8 you're making as you go over the entire block or has a rela-
9 tive offset been taken into account?

10 MR. VOEGELE: I think the true answer to your question
11 is we do not have good control where you would like to see it
12 to make sure that we understand what the offset is across the
13 Ghost Dance Fault where there is offset on the Ghost Dance
14 Fault.

15 DR. DEERE: Um-hum.

16 MR. VOEGELE: Okay? We do not have control in this
17 area. I believe the--let's see, this is--we have a hole
18 here, here, here, and here (indicating). I do not believe we
19 have a deep hole in this region yet (indicating).

20 DR. DEERE: Well, in the present drilling program that's
21 laid out and you had a map there that showed some of the new
22 holes and where the old holes are. How soon are we going to
23 get a couple holes in the area farther to the south where we
24 have greater offset to see whether or not this is a valid

1 option?

2 MR. VOEGELE: Okay. I think Dave Dobson better answer
3 that question.

4 MR. DOBSON: This is Dave Dobson of the Project Office.

5 We do have plans in fiscal '92, next year, to drill some
6 holes to help us with the stratigraphic controls for the
7 design effort and I can't tell you exactly where the holes
8 are going to be drilled yet because we're planning them now.

9 But, there is some stratigraphic control down there, Mike.
10 We don't have a lot of good core holes down there, but
11 there's some WT holes in the southern end and so it's not
12 that we are without information. The only place, the only
13 significant place, where the stratigraphic horizon pick was
14 changed was in the effort and it was in primarily G-4, but--
15 let's see, is Hemi in here? We did look at more than G-4,
16 right? They looked at several holes when we went back out
17 there to re-evaluate the horizon and we have basically a
18 group, including the Sandia people, Los Alamos people, GS
19 people, and DOE, and SAIC people, a couple of months ago that
20 did this re-evaluation and laid out the core from a whole
21 bunch of holes. And, basically, the conclusion was that it
22 would appear that we can move at the north end the repository
23 horizon up 140 feet and have no problem with rock quality.

24 DR. DEERE: Does that control also allow you to pick the

1 offset in different positions along the Ghost Dance?

2 MR. DOBSON: Well, as you're aware, we can measure the
3 offset from the Ghost Dance at the north end on the surface.

4 It's about three meters. From G-4, you go up the hill about
5 100 or 150 meters and the offset on the Ghost Dance there is
6 about three meters. It gradually increases to the south to a
7 maximum of approximately 30 meters, maybe two kilometers
8 south of there. And, there's a borehole--and I think it's
9 one of the WT holes--I can't quite remember--right next to
10 where the maximum offset in the Ghost Dance is. So, we do
11 have some stratigraphic control there, but I don't think we
12 have core in that hole. But, the offset at the north end is
13 not large and so I don't think we've got any significant
14 problems with respect to raising the repository horizon.
15 There's not an offset problem with the Ghost Dance there.

16 DR. DEERE: Because I'd had the original feeling from
17 our discussions of the past that we really needed the explor-
18 atory holes, the new holes, before we got down with our ramps
19 because we needed that stratigraphic control to know where
20 we're going. And, some arguments have developed or some
21 questions have developed amongst various people in the last
22 month or so, well, maybe we should go underground and scrap a
23 lot of the stratigraphic control now and get underground with
24 the ramp. But, my feeling was that you just can't get too

1 far away from the new control. And, it seems to me from what
2 you have said and what Dave has said that you really do need
3 the control.

4 MR. VOEGELE: I think Dave and I would both tell you
5 that basically if you want to go down without control, we'd
6 better go back to the shaft.

7 MR. DOBSON: Yeah, the shafts have a lot more flexi-
8 bility if you're going to just kind of take off and go. But,
9 we have plans that are in the program and a study plan that's
10 just about finalized right now called soils and rock proper-
11 ties which includes boreholes to aid in establishing the
12 stratigraphic controls for locating the ramps and we plan to
13 start that drilling program in 1992, next year.

14 DR. DEERE: Thank you. I think we certainly would
15 agree.

16 MR. GERTZ: Don, if you recall my opening presentation,
17 one of the bars near the bottom was called soil and rock
18 properties, two to four boreholes, 250 feet to 1200 feet
19 deep. And, that's the holes we're talking about in order to
20 help our designers and that's what they're for.

21 DR. DEERE: Excellent.

22 MR. VOEGELE: Okay. In the context, once again, of
23 major design features or attributes of the ESF and the repos-
24 itory that are relevant to repository performance and thus to

1 things like 10 CFR 60.21(c)(1)(ii)(D), we had a number of
2 features of the exploratory shaft and its interface with the
3 repository that we had identified in the past as contributing
4 to the performance of the repository system and those were
5 ESF tests and the facility itself were separated from the
6 potential emplacement drifts--okay, and I won't scoop myself
7 again--in particular, to control the drainage direction. I
8 pointed that out to you this morning that the drainage direc-
9 tion within the ESF was separate from the drainage. It was
10 separated from the drainage within the repository. We
11 believed that we had, in fact, placed the surface accesses at
12 the time in a region of low flood potential. We believed
13 that we would be able to coordinate the number of exploratory
14 boreholes with the ESF and repository in such a way that we
15 would not compromise the repository's performance. Test
16 location, we were going to control water use. We were going
17 to limit blast damage within the ESF drifts. Counting on
18 water being removed by the ventilation system. We were
19 counting on seals to help us. We were avoiding surface water
20 impoundments, control blasting in the repository itself, and
21 the ability to remove the shaft liner to facilitate and
22 enhance the sealing at the time when necessary.

23 Now, I told you that some of these things are no
24 longer issues. In fact, we've probably done better on some

1 of them than we had before. I think we probably still have
2 the system separate from the repository. We'll be able to
3 control the drainage direction. We've probably done better
4 on flood potential. Boreholes is still the same. Water use,
5 limiting blast damage, control blasting, I think we're doing
6 better on that now in the design than we were in the previous
7 design. Water removal by ventilation system, surface water
8 impoundment is about the same, control blasting--obviously,
9 we're looking at mechanical excavation now. We're still
10 looking at less water. So, we're still looking at features
11 that contribute to the repository performance. And, the
12 point I need to make is whatever we do in the ESF design, we
13 need to have an eye towards that repository performance, as
14 well.

15 And, there's another aspect of that that's likewise
16 true of the ground support system where we were looking at
17 the SCP ground support system and features again with respect
18 to the repository system performance, and I think that pro-
19 bably anything we've done in the ESF alternative study has
20 probably made it easier to support the system than we would
21 have thought it was in the past. So, we probably have less
22 potential for overbreak, we probably have round openings
23 where we had different shaped openings before. So, we pro-
24 bably have enhanced the support question, as well.

1 Okay. It's getting near the end. My voice has got
2 about four more viewgraphs left. Okay. The last thing I
3 wanted to talk about was the repository design reference case
4 changes that we need to do and I think we probably can tie
5 this viewgraph back into many of the things you heard yester-
6 day and some of the things you might have inferred from my
7 talk this morning and some of the things Ted said this morn-
8 ing. We definitely recognize that we need to update our
9 current reference configuration which, by the way, is a con-
10 trolled document. Chapter 6 of the SCP is a controlled
11 document. Let me show you a couple of other diagrams on the
12 side here while we're doing this.

13 This is the site characterization plan or organiza-
14 tion, basically (indicating). Let me just highlight a couple
15 of things for you in light of the document I'm about to show
16 you. The first five chapters of the SCP were essentially a
17 data base and they describe what we knew about the site.
18 Chapter 6 of the SCP is essentially a repository design.
19 Chapter 7 is the waste package. Chapter 8 is the program of
20 plan testing.

21 Now, let me show you the technical document hier-
22 archy that's in place in the program today. I'm sure many of
23 you saw this Monday and I did bring copies for the Board if
24 you're not familiar with this. There are copies of this

1 diagram. The headquarters program level documents go down
2 through something called WMSR or a waste management system
3 requirements type document dealing with the MGDS. And, they
4 flow down into some project specific type documents having to
5 do with the Yucca Mountain mined geologic disposal system and
6 it has a system description document with it. There is a set
7 of requirements documents for the waste package, the repos-
8 itory, and the site characterization plan itself. This is
9 our site characterization planning basis. This is what
10 happened to Chapter 8 of the SCP. Those documents that had
11 to do with test planning now exist as a controlled document
12 which is called our site characterization planning basis.
13 And, so we do maintain that document and we manage control to
14 that document. You can envision Chapters 1 through 5 as
15 description documents that correspond to those planning
16 documents. Likewise, there are repository design require-
17 ments documents and there needs to be a description document
18 for that, as well, and you can envision Chapter 6 of the
19 repository as our current description document for the repos-
20 itory. So, when we talk about requirements and description
21 documents, there are control documents in place today for
22 that. So, when we talk about changes to update the configur-
23 ation, we're talking about changing the controlled descrip-
24 tion of our repository which is where Chapter 6 evolved to

1 from the SCP.

2 Okay. So, we do know we need to make changes with
3 respect to the repository access numbers, locations, and
4 characteristics, construction methods, the MTL configuration,
5 the surface and subsurface interfaces, the repository horizon
6 characteristics, and as a consequence to that, as well, with
7 what we've learned, requirements documents also need to be
8 updated.

9 So, we know we're at that point in time today. We
10 also know that the Title II interface definition is going to
11 probably require some supporting repository design studies.
12 We will probably need to look at repository ventilation
13 concerns with respect to the exploratory shaft facility,
14 thermal considerations, development in sequencing of the
15 repository construction, isolation and containment impact
16 assessments. Those of you who are intimately familiar with
17 the SCP will recognize that it's Chapter 8.4 of the SCP.
18 That needs to be redone. If we're going to change the
19 designs, we have to re-look at those impact assessments.
20 That's 10 CFR 60.15, primarily. We need to do the site
21 characterizations program in a manner that doesn't impact the
22 site. We probably have to look at ramp sizing, fluid mater-
23 ials usage, and basically the DOE required safety analysis
24 report. So, that's just--you can't hold me to that. That's

1 just a projection on my part of the kinds of repository
2 interface type studies with the ESF that we might be looking
3 at having to do during Title II design.

4 Okay. I think before I put up my last viewgraph
5 I'm going to show you the other backup viewgraph I threw into
6 the package this morning. This is also one of Ted Petrie's
7 viewgraphs from the presentation to the NRC on Monday and I
8 did bring copies of this for you, as well. I'm only putting
9 it up to show that there is a recognition in this ESF Title
10 II design process that we will get to a point where it will
11 be necessary to modify the repository baseline and that has
12 been factored into this Title II design process formally.

13 Okay. I have a conclusion viewgraph. After talk-
14 ing for three hours, three and a half hours maybe, it seems
15 like you need to have a conclusion viewgraph, right? So, I
16 struggled last night. I thought I would try to tell you what
17 I thought were the four things I said today. Okay. I think
18 the first thing I said was that repository considerations
19 were important in the Exploratory Studies Facility Alterna-
20 tive Study. I think it's important to recognize that Title
21 II design will address radionuclide containment and isolation
22 both in terms of testing related impacts and alternatives to
23 measure repository design features. I think it's important
24 to know that we've identified some potential repository trade

1 studies to support this ESF Title II design and that we will
2 probably have to update our repository conceptual design to
3 incorporate the results of that ESF Title II design.

4 So, I think I have enough voice left for a couple
5 of questions.

6 DR. ALLEN: Don?

7 DR. DEERE: Yes. I think you put about six hours worth
8 of data in in three hours. The question that I have relates
9 to this higher elevation for the repository that has been
10 considered based on the reinterpretation of the position of
11 the lithophysal zone. Now, you'll be getting information
12 during this year to allow you to know whether or not geo-
13 logically that's a good assumption that has been made. And,
14 would it be the intent then to probably go ahead and pursue
15 that as the--I know you'll have to do some studies to do it,
16 but is the intent that if it is borne out that indeed you
17 could raise it, you would want to raise it?

18 MR. VOEGELE: I think that is totally consistent with
19 the recommendations of the ESF Alternative Study, to look at
20 raising that elevation and perhaps looking at a step block to
21 avoid the Ghost Dance. Remember, we had those features which
22 were not addressed--

23 DR. DEERE: Yes.

24 MR. VOEGELE: --in either--well, one of those features

1 is. We had a number of repository design features that came
2 out as characteristics of the highest ranked options that we
3 either addressed them in the design study or we will address
4 them in Title II design and I believe the repository eleva-
5 tion is a projected trade study for Title II design right
6 now. That is correct, okay. And then, the step block or
7 whatever you need to do to avoid the Ghost Dance Fault is
8 something that would be done in the trade study as part of
9 repository design. But, to my knowledge--and I think it's
10 just confirmed Ted and I think Carl is about to confirm it--
11 that is in the plans.

12 MR. GERTZ: Yeah, Don, to once again go back to my
13 opening presentation is that in '92, in essence, all that
14 we're going to be designing are roads and paths and the
15 comprehensive design of the ramp which include a final grade
16 and which then would include where you would want to end the
17 ramp up, meaning where the repository would start, will be
18 included in our '93 design activities and, therefore, will
19 take advantage of the information we'll gain by the surface-
20 based program in '92 when we do that design in '93.

21 DR. DEERE: Well, that certainly is the single advantage
22 that I have heard.

23 MR. GERTZ: Yeah, that's--

24 (Laughter.)

1 DR. DEERE: But, I do think it is an advantage in being
2 able to consider a higher position and a decreased grade on
3 those ramps.

4 MR. GERTZ: I don't want you to think we weren't con-
5 sidering even without a budget slip. We were always thinking
6 it was necessary to go get some information where we could
7 start that design. It's just now both of them are deferred a
8 little to the right.

9 DR. DEERE: Yeah, I appreciate that.

10 I will go back to a viewgraph--you won't have to
11 look for it. It's one in the presentation before this pre-
12 sentation where you listed the NRC concerns that you try to
13 work in in your alternative study and also the TRB concerns.
14 And, I wanted to go to the last one you showed, the TRB
15 concern. Exploration of the softer tuff units that occur
16 above and below the repository level that are important in
17 impeding downward flow of surface infiltration. Only to
18 connect that a little bit to the recommendation or the state-
19 ment that I made yesterday morning. That we feel we ought to
20 be looking at some of those upper units and particularly--and
21 this was the new thing--tying it together with the Ghost
22 Dance Fault. And, that's what led to the--I guess, it's the
23 fourth or the fifth point that we made yesterday and we felt
24 that maybe we ought to take a look at going in one of the

1 softer tuff units with a road header that take off--in the
2 opening statement it said from the north ramp. And, looking
3 at some of the drawings that were presented yesterday, it may
4 well be that it's not convenient to do it from the north
5 ramp. It would be more convenient to do it from the south
6 ramp. So, I just wanted to tie that down a little bit.

7 MR. GERTZ: And, certainly, your recommendation was
8 considered when we looked at ramps because that provided a
9 nice opportunity to view that stratigraphic feature in a
10 couple areas. And, now you've added to it and clarified it a
11 little yesterday by saying let's view that area in the area
12 of the Ghost Dance if we can and, certainly, we'll be looking
13 at that.

14 DR. DEERE: Yes, and your statement there does remind me
15 that we will be seeing that contact--and there are several,
16 there's not just one, but there may be two or three sequences
17 in that upper part--that have the characteristics that we
18 want; that is a fractured welded tuff over a less fractured
19 tuff. And, you will be seeing that at several faults; not at
20 the Ghost Dance, but at several faults because you have to
21 pass them. And, that's what came out of these charts that
22 you showed us yesterday and there are a number of faults
23 there. So, you probably will be able to see it or, if not,
24 will be able to reach it and take a look at that particular

1 interface. So, that would give some preliminary information
2 that you will be able to assimilate before you drive into the
3 Ghost Dance Fault.

4 DR. ALLEN: Ed, did you have a comment you wanted to
5 make?

6 DR. CORDING: Yes. I just wanted to ask you a question
7 regarding the interface between the ESF drifting at the
8 repository level. And, if, for example, during the ESF
9 program one finds that there's further development in the
10 design for the repository, there's some interest in changing
11 the elevation of the repository or changing the radius of the
12 turns that go off the mains into the emplacement drifts, if
13 in that process then there is some interference with the
14 drifting that's done in the ESF, the comment kind of came up
15 yesterday. You said, well, possibly, for example, we could
16 do a radius turn off the main to go to the east/west drifts
17 in the ESF program. And, that comment was, well, that might
18 interfere with the orientation of the emplacement drifts in
19 the repository. So, I'm sure one tries to get all that
20 coordinated ahead of time and make sure it's compatible, but
21 there's certainly going to be things learned in the process
22 of the ESF and there may be developments in technology that
23 would mean that some of the layout changes and that you end
24 up having drifts from the ESF that are in the way of what you

1 want to be doing with the repository. So, in terms of
2 changes in elevation and also being in situations where you
3 might actually be crossing old drifts of the ESF when you do
4 the repository, I wonder how is that going to be handled and
5 what sort of studies are being done in that regard?

6 MR. VOEGELE: I think that's probably about the most
7 relevant question that's occurred to me in the past few
8 months is, well, I think I'm very concerned about that com-
9 mitment to the repository when you begin to go down there and
10 go into this location. The only answer I can have is to try
11 to basically come at it from at least two or maybe three
12 perspectives. I think it's important that we have very good
13 control on what the repository horizon is going to be before
14 we go down with the TBMs. Now, that to me is a trade study
15 that needs to be done during the ESF Title II design. I
16 think that I can't emphasize enough from my perspective that
17 this is not simply an exploratory facility that we're com-
18 mitting to at this point in time. If we are going to co-
19 locate these two facilities, we need to make sure that what
20 we do is the correct thing to do for a repository. And,
21 that's, I believe, my reason for the emphasis on 10 CFR 60.21
22 at this point in time. I think there may be some additional
23 studies that have to be done with respect to how the reposi-
24 tory and the ESF really do interface with additional better

1 control on the horizon before we go down there. So, I think
2 Carl may need to put his two cents worth on this one, but to
3 me this is the biggest problem facing us right now, is making
4 sure that what we do in this underground facility is the
5 correct thing to do or something that we can live with in a
6 repository.

7 Carl, do you have a comment?

8 MR. GERTZ: I obviously concur wholeheartedly. I guess
9 I was just going to respond to Ed further on. We all recog-
10 nize people that have been involved in underground construc-
11 tion, there's changed conditions, things change. And should
12 we get underground and need to reorient or something some-
13 where else, we'll then have to be creative in our design to
14 allow us to have a repository that whatever we do with the
15 ESF wouldn't cause waste isolation to be compromised in an
16 eventual repository design, whatever that is. Maybe, if we
17 have to do the long radius turns, we don't use that part of
18 the block for waste emplacement because it would be inter-
19 secting or something.

20 DR. CORDING: Or maybe you--I mean, you try to design so
21 you don't have these interferences, but some of those may
22 occur. Perhaps, you'll end up with at least some study that
23 says we can go through an old drift using these sorts of
24 techniques and these sorts of offsets from our actual

1 emplacement areas.

2 MR. GERTZ: Yeah. Much like one of our theories is to
3 offset any emplacement areas from the potential Ghost Dance
4 Fault underground. Should we find that necessary, we could
5 offset our emplacement areas from any exploratory drifts that
6 we had in place that weren't going to be used. So, it's
7 those kind of things that certainly need to be considered.

8 DR. ALLEN: Excuse me, we're going to have to terminate
9 this in 13 minutes because of airline schedules. And, I
10 wonder if--Ted, you had a final statement here and I wanted
11 to make sure that we don't cut you off here.

12 MR. PETRIE: Okay. I think you're done, Mike.

13 MR. VOEGELE: Okay.

14 (Laughter.)

15 MR. PETRIE: I just have a couple of things to say.
16 Mainly, I want to thank the Board for their comments with
17 regard to the work that's been going on, so far. Russ and
18 Ed, in particular, helped us out quite a bit, I think, during
19 the reviews we've had. We're looking forward to having
20 equivalent kind of help over the next couple of years as we
21 complete the design. And, again, thank you very much and
22 really that's about all I have.

23 DR. ALLEN: Well, we want to thank you and also I'd like
24 to thank the members of the audience who have participated

1 and so forth and we still have a couple three minutes. Does
2 anyone in the audience have some final statement or comment
3 they would like--representing other groups here that they
4 would like to make?

5 DR. DEERE: While they're thinking about it, I would
6 like to simply restate the points that I made yesterday. I
7 think there were five in the opening statement. In many of
8 those, there was one point made and then followed by Point 2
9 and Point 3 which elaborated on a previous point. But, in
10 reality, there are just two points or two topics that we
11 addressed yesterday and one was to take a look at the 16, 18,
12 or 20 foot, the smaller size TBMs, giving emphasis that this
13 is an exploratory facility that has to be compatible with a
14 future repository if such comes about. But, we don't have to
15 do everything now to make a haulage way that is not going to
16 be used for 20 years.

17 The second point was to concentrate on getting
18 information early of the Ghost Dance Fault in three different
19 localities--I mean, in three different geological settings:
20 one in the upper tuff contact unit, hard tuff with the softer
21 tuff; a second one in the candidate repository level; and the
22 third down in the Calico Hills. And, proposed perhaps a
23 simple J and I'm sure with the six or more options that you
24 presented earlier--that we had that Derrick presented in the

1 first statement this morning--you may well have something
2 very similar to that in one of the six. Because after the
3 early access to these points, why, you would just go ahead
4 and continue the normal development.

5 You have said that in your coming Title II design
6 studies you have no difficulty in accommodating these studies
7 and will be looking at them. So, I think that we are glad we
8 made the recommendations and we're glad that you are going to
9 be able to take a look at them. We do have to catch some
10 planes. I just want to mention that Russ and I are going to
11 leave some of these softer tuffs and heading to Sweden to
12 visit the Underground Rock Lab and a conference in their
13 nuclear waste industry. And, although we're not--some of the
14 questions that they're trying to answer certainly has some
15 relation to things that you will be doing here.

16 Thanks again for all your cooperation.

17 DR. ALLEN: Ed, did I cut you off? Do you have anything
18 further you want to say here?

19 DR. CORDING: I'm fine, thank you.

20 DR. ALLEN: Okay. Well, thanks again. We appreciate
21 your remarks. The meeting is adjourned.

22 (Whereupon, at 11:45 a.m., the meeting was adjourned.)

23

24

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20