

UNITED STATES
NUCLEAR WASTE TECHNICAL REVIEW BOARD

FULL BOARD MEETING

The Adolphus Hotel
Sam Rayburn Room
1321 Commerce Street
Dallas, Texas 75202

April 8, 1992

BOARD MEMBERS PRESENT

Dr. Don U. Deere, Chairman, NWTRB
Dr. D. Warner North, Acting Chair
Dr. John E. Cantlon
Dr. Clarence R. Allen
Dr. Patrick A. Domenico
Dr. Donald Langmuir
Dr. John J. McKetta
Dr. Dennis L. Price
Dr. Ellis D. Verink

ALSO PRESENT

Dr. William D. Barnard, Executive Director, NWTRB
Mr. Dennis Condie, Deputy Executive Director, NWTRB
Dr. Leon Reiter, Senior Professional Staff
Dr. Sidney J.S. Parry, Senior Professional Staff
Dr. Sherwood C. Chu, Senior Professional Staff
Dr. Robert W. Luce, Senior Professional Staff
Dr. Carl DiBella, Senior Professional Staff
Mr. Russell K. McFarland, Senior Professional Staff
Dr. Edward J. Cording, Consultant

I N D E X

<u>SPEAKERS:</u>	<u>PAGE NO.</u>
Opening Remarks and Announcements	
D. Warner North, Nuclear Waste	271
Technical Review Board (NWTRB)	
DOE Introductory Remarks	
Jeremy Boak, Department of Energy (DOE).	277
Comparison of TSPA Results	
Abraham Van Luik, CRWMS/M&O.	278
- PNL and SNL	
- other PA results (Electric Power Research Institute, Nuclear Regulatory Commission)	
- lessons learned	
Application of PA Studies and Future Plans	
Suresh Pahwa, CRWMS/M&O.	303
Summary	
Integration of PA, ESSE, and Proposed Integrated Test Evaluation	
Russell Dyer, DOE.	316
Comments from the State of Nevada	
Steve Frishman, Agency for Nuclear Projects.	332
ESF Update and Plans for FY93	
William Simecka, DOE.	363
Surface-Based Drilling Review Updated	
Russell Dyer, DOE.	388
Dry-Drilling Technology Update	
Uel Clanton, DOE	429
Status of State Permit Applications	
Carl Gertz, DOE.	454
Closing Remarks	
Carl Gertz, DOE.	472
Closing Remarks	
D. Warner North, NWTRB	505

P R O C E E D I N G S

1

2

(8:30 a.m.)

3 DR. NORTH: I'm Warner North and I'm Acting Chair for
4 the day. I'd like to welcome everybody to this second day of
5 the meeting of the Nuclear Waste Technical Review Board. I
6 hope everybody has had a good night's sleep. I'd like to add
7 in passing my compliments to our staff on the selection of
8 the hotel. Several people have talked to me about this and
9 I'll add my own impression that I think of the facilities
10 we've had in our various meetings, this is one of the best.
11 So, I've enjoyed a good night's sleep and I hope that others
12 feel the same way.

13 I'd like to comment yesterday's speakers and the
14 teams they represent. I thought we had a very useful day in
15 looking at the Early Site Suitability Evaluation and the
16 Total System Performance Assessment. I was particularly
17 interested in the comments of the two peer reviewers on the
18 Early Site Suitability Evaluation. I thought there were a
19 lot of insightful comments there. There was some concerns
20 certainly that members of the Board have about that study;
21 the small number of experts involved on the DOE team, the
22 fact that the findings have to be one of three levels was
23 something that the peer reviewers expressed themselves on,
24 and also there's the issue of what the assignment was. The
25 ruling of the conditions that had to be addressed in terms of

1 determining which of the three levels of suitability would be
2 the choice. It gives the impression of a rather narrow,
3 legalistic way in which to assess overall risk. It's
4 certainly something that makes me with my background feel a
5 little bit uncomfortable, but on the other hand, I think the
6 accomplishment was assembling a great deal of information
7 that's been assembled in the last five years or so into one
8 place, making it readily available, and having a team of
9 experts assembled within the Department of Energy program and
10 reviewed by another team of experts from within the program,
11 and then finally the peer review from outside. So, there is
12 at least a good nucleus of trying to get the expert judgment
13 assembled, made explicit in written form so everybody can get
14 at it, and now this will be taken out for further public
15 comment and review. And, hopefully, this will be a very
16 useful process for the program in determining where there is
17 agreement and where people disagree with you.

18 Now, I'd also like to say similar complimentary
19 things about the Total System Performance Assessment. Some
20 of us on the Board have been waiting to see this for a long
21 time and we're delighted there finally is one. And, I think
22 it represents a lot of very good work on the part of a dedi-
23 cated group of people who put it together and I'd like to
24 offer compliments to all of them for the job that they accom-
25 plished. On the other hand, as I sat there through yesterday

1 and listened to it and tried to think about members of the
2 general public who do not have a background in quantitative
3 analysis and how they would react to this material, I
4 thought, gee, this could come across as lots and lots of
5 numerology and lots and lots of assumptions. And, it's hard
6 to find the insights of the kind that we were getting from
7 the ESSE. What is the expert judgment? So, I would hope as
8 this evolves--it's going to go through obviously a lot of
9 further evolution and a lot of review or hopefully strengths
10 will be built upon and weaknesses will be corrected. I hope
11 there will be a lot more emphasis on sensitivity analysis and
12 a lot more emphasis on packaging the insights. What is the
13 story? Not just the number or the model, but the overall set
14 of expert judgment that lies behind that. Can we be assured
15 that the people who did the elicitation and who built the
16 models have really had full and deep communication with the
17 expert community, so that the experts are fully comfortable
18 that what is in the numerology really represents their
19 judgment?

20 It seems to me that we started that process, but we
21 have quite a long way to go. There are several specific
22 areas where I think a lot could be done in the near-term.
23 And, I hope as we continue in the performance assessment
24 area, we will see some of these areas well covered at up-
25 coming meetings. One of them is volcanism. You had a number

1 of questions on that from members of the Board. Now, what if
2 John Trapp's assumptions were used, why do the numbers come
3 out in that case? It would seem that this is an area which
4 is sufficiently well-defined so that you ought to be able to
5 get the various points of view in the expert community and do
6 a comparison where we go all the way to the complimentary
7 cumulative distribution function bottom line. But, we do so
8 from the various points of view that are out there in the
9 expert community and then we do a comparison and contrast of
10 how much difference these various points of view, models,
11 probabilities on scenarios, and the like represent.

12 Similarly, I expressed some questions about the
13 exponential distribution used as the input on infiltration on
14 the global climate issue and we had a short discussion that
15 ensued in which people were talking about the effect of
16 additional vegetation if the rainfall were to increase with
17 global climate change and the like. I would really hope that
18 in coming back to that issue we will see a good summary of
19 the story leading into a set of probabilities on various
20 infiltration rates. Maybe you can convince me that an expo-
21 nential distribution is the appropriate way to do it. But,
22 frankly, I doubt it. The exponential distribution is a very,
23 very simple distribution that can be justified against a
24 maximum entropy criterion. But, here's a problem area where
25 we have a great deal of expert judgment on which an enormous

1 amount of work has been done, but obviously we have great
2 uncertainties as to what future climate will be and what the
3 consequences of that might be for infiltration at Yucca
4 Mountain. So, I think the challenge to both the expert
5 community and the modelers is to package up all of those
6 insights in a way that can be readily communicated to the
7 public and yet where you also have the ability to go beyond a
8 set of words and get to the numbers. What are the proba-
9 bilities of various levels of release that might result from
10 changes in the infiltration? So, those, I believe, are the
11 challenges that the program faces in this area as we go
12 forward.

13 Now, today, we're going to hear from the Department
14 of Energy further about the Total System Performance Assess-
15 ment and, in particular, we're going to hear about their
16 plans for integrating this study with the Early Site Suit-
17 ability Evaluation into the next phase of test prioritiza-
18 tion. I think it's clear that the Board is very interested
19 in how these studies are going to be used by the Department
20 of Energy. The program has reached the stage where calcula-
21 tion for the sake of calculation has very limited usefulness.
22 The focus ought to be on managing the program, not just
23 endlessly doing good and interesting scientific investiga-
24 tion. In particular, we would like to see the Department of
25 Energy concentrating on what counts, determining which are

1 the critical issues with respect to early site suitability,
2 and what are the areas of performance assessment that are
3 crucial to important design decisions such as the thermal
4 loading issue. So, really, the focus ought to be on how does
5 the performance assessment area support making choices or
6 prioritization?

7 We're also interested in DOE's plans for systematic
8 re-examination through performance assessment, site suit-
9 ability evaluation, and test prioritization, and making this
10 an ongoing process. How often are these exercises going to
11 be repeated or are you going to do derivative types of
12 studies? The Board has recommended for quite a number of
13 meetings and reports that performance assessment ought to be
14 an iterative process. And, we feel that the Department of
15 Energy fully supports that point of view and is practicing
16 it, but it would be good to get some of the details. We're
17 also going to be interested in hearing from the State of
18 Nevada on its views with regard to these activities.

19 Finally, we're going to receive an update on site
20 characterization. Work has entered a new phase and the Board
21 is very interested in the priority that DOE has assigned to
22 surface drilling and the progress being made toward under-
23 ground exploration.

24 So, with those introductory comments, I'd like to
25 turn it over to Jeremy Boak.

1 DR. BOAK: I'd like to thank Dr. North for his compli-
2 ments and, more particularly, for his challenges. I have
3 found that in taking monthly tours to Yucca Mountain with
4 members of the public that trying to describe to them what it
5 is that I am in charge of at the project is a major
6 challenge. I don't have my overheads with me when I'm doing
7 that. So, it's particularly difficult to talk, but I am
8 spared in that way of any of the numerology. I have to put
9 it into fairly average, simple words. I think that the
10 challenge of not only doing iterative performance assessments
11 and getting ahead with those and getting ahead with some kind
12 of interpretation that we can then convey to the public is,
13 in fact, an exciting challenge.

14 Dr. North has also gone through what our schedule
15 is for today which leaves me relatively little to do except
16 to give a little more detail. The next two talks will be
17 essentially a wrap-up and a projection for performance
18 assessment and then Russ Dyer will try to bring together not
19 only the Total System Performance Assessment, but the site
20 suitability in some of our future activities with regard to
21 the prioritization that Dr. North stressed was extremely
22 important. We agree. And then, in the late morning and
23 early afternoon, we will go into an update on the Site
24 Characterization Program.

25 With that, I think I'll just introduce Abe Van Luik

1 who will give us a summary of the results of the TSPA with
2 emphasis on comparison between the Sandia calculations and
3 the PNL calculations.

4 DR. VAN LUIK: Thank you for the introduction. My name
5 is Abraham Van Luik and I work for the M&O. In particular, I
6 work for Intera which is the performance assessment part of
7 the M&O.

8 Now, when I first put this talk together, I was
9 under the impression that both the Sandia and the PNL
10 speakers were going to just talk about their analysis and
11 that I would come in and say here is where they differ and
12 here is where they were the same. Yesterday, every speaker
13 said this is where we differ and this is where we are the
14 same. So, with your permission, I'd like to flip very
15 quickly through that part of my talk, and if you have a
16 particular point you'd like to raise, of course, stop me, but
17 that way we can finish a little bit early.

18 The total system assessment or the particular one
19 that we did in '91 was to help start us on the way to an
20 abstraction process which will be used for future total
21 system performance assessments. Jerry Boak, yesterday, used
22 the pyramid which is an analogy of limited usefulness, but
23 the idea is that we need to justify the abstract models we
24 use at the top of the pyramid by exercising lower level
25 models. What we wanted to do for '91 is compare the results

1 from two different modeling approaches and to demonstrate
2 that we knew how to put together a system performance assess-
3 ment using Complimentary Cumulative Distribution Functions.

4 For those total system assessments, there were
5 stochastic simulations involved. Doses, as you heard from
6 PNL, were calculated. The saturated-zone as a pathway to the
7 accessible environment. Gas transport releases were calcu-
8 lated, human intrusion, volcanism, tectonism. A more
9 detailed source-term than used in the past was calculated
10 and--we've got too many Cs in here--the Complimentary CDFs
11 were calculated.

12 We have some caveats, but we're not caveating this
13 to death. It's funny how the program can change your vocabu-
14 lary because I used to say clubbing things to death, now it's
15 caveating things to death. But, the goal of any total system
16 assessment is to combine estimates of engineered system
17 behavior and fluid transport in the geosphere to evaluate
18 total system performance. One way to evaluate it is by
19 creating a CDF to interpret the results. This exercise was
20 not totally comprehensive and the results are not adequate to
21 support formal higher-level suitability findings. However,
22 they do reflect our current understanding of our limited
23 data.

24 So, let's get right into the comparison of models
25 and analyses and, like I said, this was covered very well

1 yesterday. So, we'll do it very quickly.

2 For the source-term models, the two things that
3 were different and of note is that differing distributions of
4 failure time were used and PNL also threw in waste glass,
5 whereas Sandia assumed a spent fuel inventory.

6 The saturated-zone models of both PNL and SNL were
7 based on the equivalent porous medium conceptualization. PNL
8 did a two-dimensional stochastic representation of the car-
9 bonate and the tuff aquifers separately, while SNL used a
10 one-dimensional stochastic representation of the saturated-
11 zone using averaged properties for both of those, the Czar-
12 necki model for both of those aquifers. And, aquifer is a
13 strong word.

14 In the unsaturated-zone, both PNL and Sandia used
15 an equivalent continuum model and fracture properties were
16 incorporated in the relative permeability and capillary
17 pressure curves. The real difference is PNL used the deter-
18 ministic two-dimensional vertical slice through the reposi-
19 tory with a single fault zone, while Sandia used six one-
20 dimensional stratigraphic columns from the repository to the
21 water table, with flow simulated stochastically 300 times for
22 each column. And, also, you had a discussion by Mike Wilson
23 yesterday of the "weeps" model. That was a separate analysis
24 done by Sandia.

25 As far as flux/percolation assumptions, which is

1 probably one of the most important parameters for this moun-
2 tain, five flux cases ranging from 0 to .5mm/yr were analyzed
3 by PNL, while SNL assumed a range of percolation rates and
4 the explanation is one that you got yesterday justifying the
5 use of the exponential distribution. The idea was that we
6 know that the mountain would be saturated if the flux was too
7 high. So, we skewed things to the left, but you have a point
8 that we need to revisit this. And, I think one of the more
9 interesting things coming out of the surface based testing
10 program is the work on the possible percolation rates. There
11 are things to be learned here, in other words.

12 When we look at the conclusions, neither PNL nor
13 SNL composite porosity model calculations at lower flux rates
14 resulted in radionuclide transport into the saturated-zone.
15 You've got to crank up the flux in order to get stuff trans-
16 ported to the accessible environment by that pathway.

17 When we look at the gas flow modeling, the drivers
18 for flow were essentially the same in the two modeling
19 efforts. There was a little technique difference. Transient
20 calculation was performed by PNL while a series of two-dimen-
21 sional steady-state simulations were used by SNL. Because
22 the travel times were relatively short, the source-term
23 model's release rate of ^{14}C was an important determinant of
24 the cumulative release over 10,000 years. And, as was
25 explained a couple of times yesterday, there was a lot of

1 conservatism in this model. The differences between the
2 results are largely directly related to the three order-of-
3 magnitude differences in the assumed permeabilities. And,
4 again, the surface based testing program is coming in with
5 some very interesting data which Paul said would strongly
6 influence his results. For example, if there is a lot of
7 water in the--not a saturated-zone, but in a near-saturated-
8 zone above the repository, it would reduce everything to
9 lower release levels than we see now. So, the mountain may
10 have a built-in correction for our problem.

11 Human intrusion assumptions, we went through this
12 in some detail two times yesterday. If a driller hits a
13 container up to--and, this was stochastically determined just
14 how much for each realization--up to the entire content could
15 be brought to the surface or released into the saturated-
16 zone. If the driller missed, some contaminated tuffs were
17 brought to the surface. In the saturated-zone, either the
18 low-flow-rate tuff aquifer or the higher-flow-rate carbonate
19 aquifer was assumed to receive the waste.

20 The number of holes was either fixed at 17 or
21 inputted as a distribution. The timing of the drilling
22 events, whether or not it hit a container, and the amount of
23 waste mobilized were stochastically determined. The Sandia
24 analysis assumed a spent fuel inventory and the PNL analysis
25 assumed a mix of spent fuel and high-level waste glass. And,

1 basically, for a realization that picked up high-level waste
2 versus spent fuel, there was probably an order-of-magnitude
3 dose difference which is an interesting result in and of
4 itself.

5 One of the things we learned from this analysis is
6 what are the important parameters. The frequency of drilling
7 was important and this is a result that we've known for some
8 time, but it's still somewhat surprising. The drilling
9 frequency prescription in 40 CFR Part 191--actually, it's
10 part of the guidance, it's not a prescription--resulted in
11 multiple drilling events for the 10,000 year regulatory
12 period. Aqueous releases--and this is no surprise--were
13 dependent on distributions of groundwater velocities and
14 retardation coefficients. And, I think that we heard yester-
15 day that there may be new data coming in on the groundwater
16 velocities in the saturated-zone that may change the way that
17 we view this. Surface releases had little relation to site
18 characteristics except as drilling frequency perhaps may be
19 site-specific.

20 Basaltic igneous activity modeling, both labs used
21 the same conceptual model, a dike intruding along a plane
22 behind an upward propagating stress crack and it entrains
23 waste as it flows up, releasing waste to the surface. Numer-
24 ous trials--we're talking hundreds to thousands--were used to
25 simulate various dike widths, lengths, and orientations to

1 get a handle on the sensitivity. Dike length and width were
2 found to be important parameters in determining the release.
3 The Sandia analysis used published estimates specific to
4 Yucca Mountain for recurrence rates and this represented the
5 work of Bruce Crowe and also the intrusion probabilities were
6 taken from University of Nevada-Las Vegas work which was
7 sponsored by the state. The PNL analysis, on the other hand,
8 was based on interpretations of literature not specific to
9 Yucca Mountain, but the results were broadly similar which
10 shows there is some robustness in the calculations.

11 So, now, let's get to the heart of the matter which
12 is to compare the results. The good news is there was no
13 disagreement over how the CCDFs may be combined. As you
14 heard yesterday, there were two slightly dissimilar
15 approaches used, but neither one is thought to be wrong.
16 This is quite a change over five years ago when we were
17 really wrangling over this issue, how do you combine CCDFs?
18 CCDFs include scenario probabilities and parameter uncer-
19 tainties. They're all rolled up into the CCDF, but deter-
20 mining scenario probabilities remains an open question.

21 Let's go to the Sandia total system result and what
22 I've done is picked one representative result from all the
23 ones that you were shown yesterday. This is the one that
24 assumes a 50/50, namely because they didn't want to do--you
25 know, they were equally likely outcomes. And, I hope that

1 this audience is mature enough not to attach too much impor-
2 tance to the actual numerical value on these charts. The
3 idea was to do basically a sensitivity study using current
4 data and current models. Like I said, composite porosity and
5 weights, they gave it each an equally likely weighted out-
6 come. The main release contributors were the nominal pro-
7 cesses. In other words, the volcanism and human intrusion
8 didn't mean that much to the CCDF, but the basic contribution
9 here, credibly the vast majority of it is ^{14}C coming out of
10 the mountain.

11 You were shown this in quite some detail yesterday.
12 This is the PNL results and there were four pieces to this
13 curve. At the highest probability with the lowest conse-
14 quence was the human intrusion which missed and just brought
15 contaminated tuff to the surface, not very serious. The
16 second contribution is the release of gaseous ^{14}C . That's
17 this straight portion right here. And, like I said, this
18 came out very much lower than Sandia because a different
19 permeability was used and it's up to the site character-
20 ization program to tell us which one is right or if both of
21 them are. The third part of the curve, right here, is the
22 lower-probability, but higher-consequence, which is just the
23 way the curve is constructed, effects from a driller bringing
24 the waste form to the surface or dropping it into the
25 saturated-zone where it was moved into the accessible

1 environment rather rapidly. And, the fourth contribution is
2 from the basaltic volcanism bringing waste form to the
3 surface right here in the very low-probability range. And,
4 you see the EPA boundaries right here. But, this analysis,
5 even though the analysts feel it's quite conservative, didn't
6 get anywhere close to violating the standard. Now, it's
7 interesting, you were briefed not too long ago by the Nuclear
8 Regulatory Commission on its total system assessment in 1990
9 and this was their result. And, it's interesting that in
10 their analysis, they only included aqueous-pathways and, just
11 like everyone else, the tools are there for the aqueous.
12 They have to be developed for the gaseous. And, we're just
13 about a year ahead of them on that one is all.

14 Two scenarios dominated the CCDF because of high-
15 assigned probabilities. The reason that the probability
16 comes up to 1 here and .1 here is because that's the proba-
17 bility assigned to the two scenarios that actually con-
18 tributed to this CCDF. The first one was drilling under non-
19 pluvial climatic conditions assigned to .9 and the flux that
20 they assumed ranged over .1 to 5mm/yr. The second one was
21 drilling under pluvial climatic conditions where they assumed
22 the flux went from 5 to 10mm/yr. And, you can see that these
23 two probabilities add up to almost 1. The cases without
24 drilling because drilling was considered to be so likely were
25 down in the 10^{-6} range--or 10^{-3} to 10^{-4} range, I think is cor-

1 rect, and the plots for those without the drilling look
2 identical to this block, but are just moved down. So, the
3 contribution from the act of drilling itself did not mater-
4 ially alter the CCDF. It was only the probability of 1
5 assigned to drilling that moved the whole chart up to the top
6 and that's what this is right here. And, I think that you
7 had a good discussion with them when they showed these
8 results.

9 The non-pluvial case releases were just below the
10 violation points specified by 40 CFR Part 191 and the pluvial
11 cases then obviously were above those violation points.
12 Fracture flow was important to determining releases. In
13 fact, flow vectors at or below 2mm/yr--in other words, when
14 they assumed infiltrations at or below 2mm/yr--did not vio-
15 late the 40 CFR Part 191 control points. Now, this is a good
16 sensitivity analysis. It points again to the same thing.
17 Your flow velocity is very important to your total result.

18 Now, courtesy of the EPRI folks, we have something
19 that's hot, not even off the press. You were briefed, I
20 believe it was, last fall by EPRI on their Phase 1 analysis
21 work and they were kind enough for this talk to give me the
22 advance result from the Phase 2 analysis. Now, because their
23 modeling approach is--I wouldn't say radically different, but
24 very different from the other three things that I've just
25 showed you, PNL, SNL, and USNRC, I should mention that the

1 NRC approach is very much based on the analysis work that was
2 done in 1987 and 1988 by PNL. In fact, it follows it even to
3 the point of using its data tables. So, those three are
4 comparable in approach except the assumptions are different.
5 This one here is very different. General features of the
6 Phase 2 analysis in the report is in publication and it
7 should be out within two months, I believe. Where's Bob
8 Shaw?

9 MR. SHAW: Yes.

10 DR. VAN LUIK: Yes, okay. The estimated releases from
11 hydrologic and gaseous pathways, volcanoes, and human intru-
12 sion, you'll recognize it's the same list that we followed.
13 They used one expert to designate input for each scientific
14 and engineering field. They represented uncertainties in
15 knowledge, models, and data with discrete distributions,
16 discrete values and probabilities. They used logic trees as
17 tools to specify inputs and to organize release calculations
18 for all combinations of uncertain models and parameters.
19 Calculated CCDFs of release from probability of each combina-
20 tion of models and parameters and from releases given that
21 combination. And then, they calculated releases for 13
22 nuclides including gaseous Carbon-14. You will only see 12
23 nuclides on here. That's because one was retarded to the
24 point that it never made it to the chart. The good nuclide.
25 Now, how is this different from the results that

1 were shown you before? Well, there were improvements made
2 from Phase 1 to Phase 2. A surface model, a surface-water
3 model which Bob Shaw in answer to a question yesterday brief-
4 ly explained, accounts for precipitation-infiltration using
5 site-specific soil and topography. The source-term model
6 includes unsaturated, wet-drip, and saturated conditions and
7 accounts for both matrix dissolution and elemental solubil-
8 ities. In other words, there's more sophistication in each
9 of these modules than there was in Phase 1. The hydrologic
10 flow model, while still simple, accounts for two layers, the
11 Topopah Spring and the Calico Hills units, and models non-
12 stationary flux. And, to illustrate, you know, the same
13 thing that we're trying to illustrate, that you use more
14 complex models to justify what's in the simpler models, it
15 was verified with a more detailed code, TOSPAC.

16 In the EBS model, they applied Weibull Distribu-
17 tions for specific EBS designs and this is basically keying
18 off the conceptual design that's current in the program, but
19 it can be easily--well, probably not easily--but it can be
20 revised for other specific designs and I think you've been
21 briefed already on some of the aspects that are being looked
22 at for altering the design. The gas release calculations
23 incorporated detailed gas flow calculations for a range of
24 possible repository temperatures. And, the human intrusion
25 model, similar to what we've just seen for the others,

1 drilling with water table contamination, drilling with sur-
2 face contamination, and excavation, and it has a general
3 format that can be revised or extended for further applica-
4 tions. It's a very flexible model.

5 Specific conclusions from this analysis is that
6 hydrologic pathways lead to the largest releases with the
7 caveat for high levels of release. Gaseous release of Car-
8 bon-14 is the predominant contributor, if releases are low.
9 And, you can see on the CCDF that the dominant release in
10 this illustration is the Carbon-14. Volcanoes, earthquakes,
11 and human intrusion do not appear to lead to large releases.

12 The largest releases are associated with unlikely
13 --and, this is the case where the aqueous-pathway dominates
14 --is associated with unlikely combinations of large fluxes,
15 no diversion of groundwater flow--and I think you have seen
16 before in the PACE-90 results that were presented to you that
17 2-D models suggested if there's too much water coming into
18 the mountain, it's diverted laterally, no diversion--flooding
19 of part of the repository, and high solubilities and
20 dissolution rates. If all those combinations are taken into
21 account, then aqueous releases dominate. At lower levels of
22 release, EBS design, fracture-matrix coupling, and diversion
23 of groundwater flow affect estimated releases. Factors that
24 are less influential are thermal pulse and potential borehole
25 fractures leading to failure of the air gap.

1 What did we learn from all of these things? And,
2 by the way, I think that the EPRI model serves a very impor-
3 tant purpose of having a totally different and independent
4 look at the behavior of the mountain and it's somewhat heart-
5 ening that the results are very similar to what we have come
6 out with. Not in the quantitative--you know, you can't
7 compare number versus number, but the general trend is the
8 same.

9 One thing that we learned--and, I don't know, all
10 of these lessons, we already knew, but it was reiterated by
11 some of the difficulties that we had in specifying data for
12 two different conceptual models. One data set feeds one
13 model, but it may not be sufficient for another model.
14 There's a crucial need for future total system assessments to
15 take the time to create a comprehensive standard set of data
16 and it does take time. Bounding models and their high-
17 release results--and, you saw those--reflect current uncer-
18 tainty in conceptual models and data sparsity. And, we are
19 counting on the site characterization program to bring us the
20 data to help bring that uncertainty down.

21 We identified a couple of activities that could be
22 completed without additional site data. In other words,
23 while we're waiting for data to come in, we can exercise the
24 current conceptual models to look at the effects of parameter
25 uncertainty and we could design, using our current models,

1 tests of the importance of conceptual model and process
2 uncertainty. This is kind of repeating what I just said.
3 Performing a total system analysis includes a comprehensive
4 review of assumptions and data. You don't just turn the
5 crank automatically and five minutes later you come out with
6 a new assessment. It would be meaningless. The objectives
7 of this particular total system assessment were achieved. We
8 wanted to demonstrate the capability to do it, we wanted to
9 generate CCDFs, and we wanted to expand beyond all of the
10 previous analyses, not just PACE-90.

11 The results of this particular TSPA have limited
12 use in programmatic decision-making, but the point is that
13 they do have some use. For example, the ^{14}C calculations, we
14 think, are applicable to any unsaturated site, as long as you
15 take into account the permeabilities for that site. The
16 results of that pathway release calculations suggest con-
17 sideration of a more robust engineered barrier system in
18 order to satisfy the current regulations. Major radio-
19 nuclides of concern with respect to the aqueous release are
20 the fission products which I believe is no surprise, but it's
21 nice to have that reconfirmed.

22 Now, I brought this document, you know, in a brown
23 paper bag to--I can't let you see it, but now you know it
24 exists. Chapter 11 has a very comprehensive list of all of
25 the data that we thought was important to this analysis where

1 we need the site characterization program to provide more.
2 So, we are looking in depth at the data needs. And, this is
3 just a wrapup, four points.

4 It would really be nice to have a firm waste-pack-
5 age design and emplacement concept. As you saw, especially
6 for the Carbon-14 calculations which happen to dominate the
7 mountain's releases, the assumptions made about the waste-
8 package failure rate are very important to the results. A
9 statistically meaningful--if you're going to do stochastic
10 simulations, you have to have statistical, meaningful data--
11 set of hydrologic property data is needed for all important
12 stratigraphic units. Data are needed on the scale comparable
13 to the modeling and geochemical data are needed including
14 modifications expected from thermal changes.

15 That's a wrapup of what is appropriately Chapter 11
16 in this report. This is the Sandia reports which will be
17 coming to you after it's gone through the internal DOE
18 review, but right now it's under a brown paper wrapper. But,
19 I think that the important thing is that we have reconfirmed
20 what we already knew and there were some things that we did
21 learn from these analyses. If you have no questions, I will
22 turn the time over to Suresh Pahwa.

23 DR. NORTH: One question for clarification. Is what is
24 in the brown paper bag the same as what was sent to me
25 earlier, the initial Total System Performance Assessment for

1 Yucca Mountain with a note on it, "do not release this report
2 to anyone"?

3 DR. VAN LUIK: As long as it's signed anonymous.

4 DR. NORTH: Okay. So, here's another copy to represent
5 --I appreciate the advance disposition.

6 DR. REITER: No Chapter 11.

7 DR. VAN LUIK: There is no Chapter 11? Ha-ha. Does
8 that mean you're not anyone?

9 DR. NORTH: I must confess, I have a Chapter 11 in mine.
10 It's rather short.

11 Okay. Other questions? Dr. Cantlon?

12 DR. VAN LUIK: A point of clarification, the PNL report
13 is about the same size and it does also have a chapter--it's
14 not Chapter 11--that looks at recommendations on data needs.

15 DR. CANTLON: As the M&O operator, what can you tell us
16 in this first iteration about planning the research program?
17 What are the priorities now? And, assuming that DOE remains
18 under the stringent fiscal constraints, what does that tell
19 you about what needs to be done to move this ahead in terms
20 of site suitability?

21 DR. VAN LUIK: It feels real good to have iterated once
22 and I'm very happy to say that the exact question you're
23 asking is going to be addressed by the next speaker who also
24 represents the M&O.

25 DR. CANTLON: Very good.

1 DR. DOMENICO: In the sense that Intera is in charge of
2 --or contributing to performance assessment now, you've had,
3 let me see, four analyses; three of them showed compliance,
4 NRC showed some violation. Wouldn't you think we could learn
5 a little bit more if you drove each of those to failure so
6 that we can see the things that contribute to failure instead
7 of showing that we can get compliance as we see on that
8 diagram right there? In other words, what are the items that
9 result in failure? To me, this is the--and, the total CCDF,
10 I think, is less useful than the individual ones if you
11 approached it that way. I'd like to see how the system can
12 fail. I'd like to see--I have more faith in the limiting
13 value--if we have a K_d of such and such, we're in trouble
14 here. I will have more faith in that number than the K_d you
15 use to show compliance. I mean, then, I would have a feel.

16 DR. VAN LUIK: Yes. I think we're in total agreement.
17 In fact, the Sandia analysis picked its distributions wide
18 enough to cause failure for the exact reason that you spec-
19 ify. The nice thing about the EPRI analysis is, I believe,
20 that they tried to be--I think they tried to err on conserva-
21 tive side wherever they made a decision, but they tried to be
22 as realistic as they thought they could get using the expert
23 opinion that was available. So, that's the reason I like the
24 EPRI analysis. It's independent and it's trying to be as
25 realistic as possible, while the Sandia analysis tried to

1 drive the system to failure to learn exactly what is impor-
2 tant. And, the PNL analysis falls somewhere in between those
3 two. But, your point is well-taken and I think the Sandia
4 analysis answers that very well.

5 DR. REITER: Yeah, I have a question and I'm not quite
6 sure if it's correct, but perhaps you could explain. In
7 looking at the different radionuclides that are released and
8 comparing the releases that EPRI had and the one that you
9 had, it seems that your releases or SNL releases were domi-
10 nated by technetium, perhaps a little selenium and a little
11 iodine. Where, if I look at the EPRI releases, except for
12 the low levels they're dominated by things like uranium,
13 plutonium, neptunium. Similarly, if I remember the NRC
14 releases, they were also dominated by things like plutonium
15 and uranium. Please, correct me if I'm wrong. I'm wonder if
16 this is due, at least in the NRC part, for them taking into
17 account colloidal transport while the SNL told us they did
18 not take it into account. Is there something there or am I
19 misreading it?

20 DR. VAN LUIK: I know that the NRC calculation did not
21 take into account colloidal transport and, in fact, some of
22 the thinking on colloidal transport is that it actually may
23 be a block, that it would be filtered out by the matrix,
24 unless we have the "weeps" model being the correct model.
25 The difference in the nuclides that are important, I think if

1 you look at the data used for retardation, it would explain a
2 lot of that. And, I think the final answer is not in yet on
3 what the specific retardation coefficients are going to be
4 for Yucca Mountain. But, I think it's more a K_d difference
5 and a range of K_d difference with the uncertainty built into
6 that range. But, colloidal transport has not been looked at
7 and Tom Pigford is looking at colloidal transport from the
8 waste form into the host rock and suggests that, as soon as
9 it hits the host rock, it's going to be a trap rather than an
10 accelerating mechanism. But, the jury is not in on that.

11 DR. DOMENICO: The source-term used by NRC was not very
12 sophisticated.

13 DR. VAN LUIK: No.

14 DR. DOMENICO: I do believe the source-term used by
15 EPRI--and Bob will correct me if I'm wrong--is probably not
16 as sophisticated as the one used in the PNL and the Sandia
17 model. I do believe that the source-term used in those two
18 was the most sophisticated that has been employed to this
19 point. And, the source-term is one of the most important
20 things you've got in those models, obviously. And, Bob, will
21 you comment on the sophistication of that source-term?

22 MR. SHAW: Yeah, I'm not sure what the word "sophistica-
23 tion" means in this particular case, but I think that our
24 source-term is a fairly detailed source-term in terms of
25 solubility, in terms of the inclusion of isotopes, in terms

1 of various mechanisms that would result in the penetration of
2 the barriers that are present there. I haven't looked in
3 detail at the other two to make a direct comparison. And, as
4 a matter of fact, while I'm here, maybe I'll make a few com-
5 ments that range on that, as well. It's always difficult to
6 sit in the audience and hear your results presented by some-
7 one else. I want to compliment Abe Van Luik on doing an
8 excellent job of doing that. Nonetheless, having sat there,
9 I have a few comments to make. I won't take much time.

10 As Abe expressed, our emphasis was not on making
11 things conservative, but on being as realistic as we could to
12 try and get a set of results that were credible and
13 realistic. Abe, if you could put back up your next to last
14 slide, I'd comment on that. Conservatism is something that
15 has been defined throughout here and it's never quite clear
16 to me what a conservative assumption is. There are times
17 when you can make what you think is a conservative assump-
18 tion, but in a systematic analysis that goes through, it
19 turns out to be non-conservative. And, so in that sense, we
20 attempted to make things just as realistic as we could and
21 then used the various trees on the logic diagram to offer
22 other opportunities.

23 I'm sorry, that's not the one I was looking for.

24 DR. VAN LUIK: Okay. I was wondering, the next to the
25 last in your part or--

1 MR. SHAW: No, next to last, period.

2 DR. VAN LUIK: Oh, okay.

3 MR. SHAW: At least, I think it was--oops.

4 DR. VAN LUIK: Lessons learned?

5 MR. SHAW: Excuse me just a second.

6 DR. NORTH: Results of this TSPA?

7 MR. SHAW: The results of this TSPA, yes. That's the
8 one that's at the title.

9 The first statement I would agree with except I
10 would delete the word "limited" and now I'm referring to the
11 EPRI model, in particular. I think the results of this TSPA
12 have use in programmatic decision-making and should be used,
13 just as I think Jean Younker's results in the ESSE have
14 definite use in programmatic decision-making. And, I believe
15 we've reached the point with the sophistication and in the
16 confidence in these systems that they should be used in deci-
17 sion-making. That is not to say that the results of these
18 should determine what's done, but they should be used by the
19 decision makers as in input, one of confessedly many
20 including finances and other aspects. I think there are some
21 significant improvements that could take place in our anal-
22 yses. It's noteworthy that none of us have considered any-
23 thing but a vertical placement of the waste canister and yet,
24 as we have our discussions on canister, one of the predom-
25 inant aspects of that is the horizontal placements within the

1 drifts. And, yet, none of us has appropriately modeled that
2 particular aspect. And, there certainly is in our results a
3 fairly high sensitivity to the source term and, therefore,
4 the canister and its degradation compared to other things.

5 The comparison between the models, which was done
6 in a preliminary but very nice fashion here by Abe, I think
7 should be done in a much more detailed fashion between the
8 modelers so that when we look at the particular aspects that
9 result in higher releases, we go back to the details of our
10 models and say are they comparable, are they different, are
11 the differences justified, or should we make changes in each
12 of our models so that we bring them in on a comparable basis?
13 I think these inter-comparisons would be very valuable for
14 the modelers to determine what are the sensitivities and what
15 are the major features that cause these differences.

16 It's interesting that every one of the CCDFs that
17 Abe presented is on a different scale. Both the X and Y
18 access have different scales and I'm thinking why, you know?
19 One of them goes down to 10^{-8} or something like this in
20 probabilities. And, it seems to me that we could get
21 together and decide if there was a suitable scale that's
22 appropriate and then visually we have the same picture as we
23 go from one CCDF to the other.

24 One other aspect that was hit on by Paul Kaplan
25 that I think is a very important part of what we should be

1 doing now as we proceed and that's the use of expert judg-
2 ment. Abe properly emphasized that in our work we used one
3 expert for each of the technical areas and that's because we
4 want to illustrate how this was done, and confessedly, the
5 integration of the various technologies is one of the real
6 challenges that I think all of us have had in trying to bring
7 this together. The interfaces are vital and they really make
8 the difference. And, yet, we've reached a point now where I
9 think grouping people together and using techniques, such as
10 Paul Kaplan did, to elicit expert judgment as a means of
11 understanding the uncertainties that are present in each of
12 the inputs, each of the models, each of the processes is a
13 very valuable path to take and I think you're aware that we
14 have started that process by taking the seismic arena and
15 having a group of experts--Walter Arabasz referred to our
16 meetings we had recently--and we have now conspired with DOE
17 to have a meeting where we will get together and talk about
18 the lessons that we learned from that particular meeting so
19 that we can transmit those to DOE for their use in any future
20 work that they do on expert judgment.

21 That's a long winded response to Pat's question.

22 DR. NORTH: Thank you very much.

23 Any further questions or comments? Staff?

24 (No response.)

25 DR. NORTH: Others in the audience?

1 MR. WILSON: Mike Wilson, Sandia. I wanted to amplify
2 on the response to Leon's question about the NRC calcula-
3 tions. Abe was correct in saying that they did not model
4 colloidal transport. However, they did artificially reduce
5 the retardation of plutonium to sort of try to take colloidal
6 transport into account in a way. That's not a realistic
7 portrayal of colloidal transport, but it is useful as a
8 reminder that if there is something that causes fast trans-
9 port of plutonium, then you're in big trouble, and we've done
10 calculations like that at Sandia, too. That is why there's
11 the big difference, the retardation of plutonium.

12 DR. NORTH: I'd like to put on the record a reiteration
13 of a point I made yesterday. I think the issue of fast
14 transport of the actinides is a very, very important one for
15 further work. And, the conclusion you had on lessons learned
16 that the major radionuclide of concern with respect to
17 aqueous release are the fission products ought to carry a
18 caveat that we should continue to investigate potential fast
19 pathways for the actinides and not leave that off our list.
20 There may be a very good story there that convinces us all
21 that colloids are not a problem and complexing with organics
22 is not going to be a problem, but I think that story needs to
23 be developed and documented so that we can really be assured
24 that that area doesn't have unpleasant surprises waiting to
25 come out at some future time.

1 MR. BOAK: I did want to thank Bob for his comment about
2 scales. In fact, the request that went out to him requesting
3 that he send us his CCDF was an early attempt to try and
4 solve that problem. Unfortunately, the data didn't get
5 together soon enough. So, Abe was stuck with three slides
6 with different scales on them.

7 DR. NORTH: Okay. I think now we'll go on to our next
8 speaker, Suresh Pahwa.

9 DR. PAHWA: I'm Suresh Pahwa also with the M&O team from
10 Intera and John--says to make sure that I find out that it is
11 another--representation here.

12 What I would like to talk about is where do we go
13 from here? Actually, Dr. North gave already a nice overview
14 of my talk earlier, what I wanted to talk about. It's a good
15 summary and we agree whole-heartedly with what you said
16 earlier is that's exactly the direction we want to go and I'm
17 going to fill in a few more blanks of what you said.

18 What I would like to say about it, just to sum-
19 marize very briefly, the accomplishments of the performance
20 assessment to date, the general program direction of perfor-
21 mance assessment, what is an iterative PA in our opinion,
22 what we think the next PA iteration should be, and what kind
23 of applications did it have within the program. And, we
24 would also like to present a conceptual schedule and it is a
25 conceptual schedule and schematic and we don't know the dates

1 on it. They aren't intended to be commitments at this point
2 in time. What we would like to say is that's a direction
3 that we are thinking about and just a summary of the presen-
4 tation.

5 Accomplishments at this point in time. Total
6 system analyses have been done and it's been pointed out in
7 at least three different reports; PACE-89, PACE-90, and now
8 TSPA-91. What was accomplished in that is that we think
9 individual codes have been exercised individually, as well as
10 they have been linked together, and the linked together is--
11 in terms of the source codes with the flow and transport
12 codes--as well as the single codes have been done. So, at
13 this point in time, the various levels of codes, various
14 types of codes have been exercised. Also, in the last TSPA,
15 in this TSP in '91, the two major accomplishments have been
16 the multiple scenarios have been modeled and CCDFs have been
17 generated. We think it's a major step forward in terms of
18 being able to do performance assessment for the sites. Now,
19 we have developed the methodology in terms of modeling mul-
20 tiple scenarios, more than one, and how to generate CCDFs for
21 the site as a whole.

22 The general PA program direction. We believe very
23 strongly in iterative performance assessment and the next
24 step is to implement the iterative performance assessment and
25 we think we have taken the first step in terms of doing that

1 and we also believe that's really the only way it makes sense
2 in terms of the performance assessment being able to help the
3 program direction. We think that the iteration objective
4 ought to depend upon the program milestones, whatever the
5 program needed at a given point in time. That the calcula-
6 tion exercises should not be done just to run the codes and
7 exercise the codes, but simply--but they ought to have raised
8 specific objective as to what needs to be done. And, this
9 phase ought to take a significant amount of time as to what
10 the site characterization needs are, what design needs are,
11 and what may be regulatory and licensing needs at that point
12 in time.

13 We also think that the PA should provide direct
14 input to the issue resolution process and to the annotated
15 outline for license application. In the shorter term, it is
16 site suitability determination; in the longer term, it is the
17 license application that we're leaning towards.

18 We think that within the program, given the
19 resource limitations, the analysis, in order to meet the
20 program milestones and one additional, the tools that are
21 used in order to justify and--the tools that are used in
22 order to meet the licensing application need to be emphasized
23 at this point in time. We're not suggesting that we com-
24 pletely shut down the development activities, but there is a
25 need to re-emphasize and re-prioritize some of the areas

1 within the performance assessment.

2 What is one performance assessment iteration? We
3 think one performance assessment iteration should consist of
4 exercising all the pertinent levels of the performance
5 assessment models. Let me put this PA pyramid, the hierarchy
6 of models, and in my mind, one iteration is modeling the
7 complete pyramid. And, what I mean by modeling the complete
8 pyramid is the high-level models need to be justified by the
9 lower-level models and the lower-level models need to address
10 the issues that need addressed by the lower-level models.
11 For example, the site characterization needs--answer to the
12 lower-levels and the design answers may come from the sub-
13 system models and one complete set of iteration, all of the
14 levels, is one iteration. Now, that does not mean that each
15 time every model is exercised, but it simply is a complete
16 picture available and you update them as you go along. So,
17 you may have a significant baseline achieved the first time.
18 You simply update whatever percentage needs to be updated
19 with each iteration.

20 We also believe that the models need to be robust
21 so they can be trusted more, they can be justified and reli-
22 able. If not, you need to use conservatives on wherever it
23 is needed and a significant part of it is sensitivity anal-
24 yses, like Dr. Domenico said. I think that's very important
25 is to see where the system fails, but the first thing is you

1 need to find out is are you in compliance in general terms
2 and the second part is to see where the system fails. And,
3 that is a very useful part of sensitivity analysis. If the
4 system fails in terms of the parameters which may be reason-
5 able, those are the, ditto, prioritization needs. So, I
6 think it is sensitivity is very important in terms of pro-
7 viding input to the program as it moves along.

8 We believe that the high-level model abstractions
9 must be based on the lower-level processes and detailed
10 conceptual models and that's part of iteration. Like I said
11 earlier, each iteration is one level just trying to do a
12 complete pyramid. It is updating the previous baseline. So,
13 you run both models and both processes where the data have
14 changed or the program priorities have changed. You need to
15 bring that into the model and it does not necessarily mean
16 running 100% of all of the codes every time. We believe the
17 iteration is driven by and the results are provided to the
18 various program elements. You do the iterations again to
19 provide input to the regulatory licensing, to site character-
20 ization, to design, and to understand the importance of
21 reduction and uncertainty due to testing. There may be
22 parameter that it doesn't really matter whether there are few
23 dollars to manage it up or down and so you can simply re-
24 prioritize the resource allocations to the ones where it does
25 matter and to be able to make programmatic decisions, such as

1 the one Bob Shaw pointed out about emplacement, thermal
2 loading, and there may be other types.

3 Well, having given an overview of what a general
4 performance assessment is, what should be done in the next
5 performance assessment iteration? And, we're looking at the
6 program objectives over the next 12 months or so. The types
7 of issues that we're facing right now are ESF design issues;
8 the surface-based testing in progress right now; the thermal
9 loading providing input to the design, to the MRS design;
10 site suitability evaluation going on; the issue resolution
11 and this also includes things like the waste emplacement.

12 And, the issues of resolution is multiple in itself. There
13 are more than one efforts--to resolve more than one issues.

14 How would we implement it? We would implement by
15 --at this point in time, the number of scenarios having
16 modeled. What you would do is you would look at the broader
17 set of scenarios and try to group them down so you're down to
18 a finite number of scenarios that can be modeled and the
19 parameter--within each group of models--represents multiple
20 scenarios, in turn. And, in effect, just do a smaller way to
21 handle multiple scenarios and reduce it, a lot of problem to
22 a practical problem, and use lower level process models or
23 complex models, if I wanted to call them, to justify abstrac-
24 tions at high-levels and definitely emphasize sensitivity
25 analyses because that is what determines where the program

1 should go.

2 DR. CANTLON: Before you take that off, as you look at
3 that list under program objectives, ESF design is a very
4 explicit thing, thermal loading is very explicit, site suit-
5 ability, very explicit. Surface-based testing, though, is a
6 means. It's a different item.

7 DR. PAHWA: It is.

8 DR. CANTLON: What specifically are you looking for?

9 DR. PAHWA: At this point in time, it is a program
10 phase, surface-based testing.

11 DR. CANTLON: I understand that.

12 DR. PAHWA: Right. And, there are decisions--in the
13 surface-based testing that can be provided, input from the
14 PA. For example, which parameters should be measured? How
15 important is saturation in various layers? Should the empha-
16 sis come under that or is it more important to look at char-
17 acteristic curves? It could be interference tests. I mean,
18 those are the issues within the program and I--

19 DR. CANTLON: Okay. That would be useful to have that
20 sort of in the same category as the other in that set.

21 DR. PAHWA: Okay, point taken.

22 DR. DYER: Might I add something? Dr. Cantlon, one
23 other thing that we've used to perform the assessment for the
24 surface-based program is trying to insure that whenever we
25 field the test, that test is not going to jeopardize the

1 waste isolation capabilities of the--

2 DR. CANTLON: Very good. Thank you.

3 DR. PAHWA: Again, I would like to re-emphasize that
4 this is only a conceptual schedule. It's a schematic and not
5 a commitment of these dates at this point in time, but it is
6 a commitment to the direction represented here. It is a
7 commitment of iterative performance assessment. And, if we
8 stick with the 2001 license application date as the long-term
9 milestone, we think approximately six iterations make sense.
10 We also think that the iterations--and, these are
11 represented over here, complete iterations at approximately
12 18 months time frame shown here--that during the early period
13 there have been 10 other iterations within site character-
14 ization at nine month periods which increased to six month
15 frequency, and when you move on to the design phase, the site
16 characterization iterations go down to nine months and design
17 iterations go up to six months. So, it does change with the
18 program phase and we think that--necessarily being 18 months,
19 they should be tied to the milestones. And, we have looked
20 at this in little more detail since the time of this view-
21 graph, and the early part, it's maybe somewhat longer than 18
22 months and it will be somewhat shorter than 18 months at the
23 back end over here, but six iterations is about the right
24 number between now and 2001 and we do think that internal
25 iterations are important, as well, as you move through time.

1 To summarize what has been done at this point in
2 time, various codes and models have been exercised. The
3 total MGDS system performance has been assessed. It's an
4 initial look at it. The scenarios have been developed at
5 this point in time. The objective is to look at how those
6 scenarios can be used in a meaningful way, in a practical way
7 to assist the performance of the site. And, we are in the
8 process of implementing the iterative performance assessment
9 approach, and as a part of that implementation, it's impor-
10 tant to provide links to various other components of the
11 program. Within the PA program, the emphasis should be
12 increased on the analysis which is providing the input to the
13 other program elements and validation. In effect, preparing
14 rationale and justification for the tools that are being
15 used. A conceptual schedule has been developed and at this
16 point in time the next thing is to identify in detail what
17 should be done for the next iteration. Take down, for
18 example, thermal loading. What can be done? What are the
19 issues to be addressed? What models should be used? What
20 parameters should be varied? And, lay down that in detail.
21 And, that's what we are looking at at this point in time.

22 DR. NORTH: Thank you. Questions? Russ McFarland?

23 MR. MCFARLAND: I'm curious about your programmatic
24 objectives on the third from last viewgraph and how they were
25 selected, in particular, in responding to Bob Shaw's comment

1 and the importance of the waste-package definition and
2 emplacement concept and, yet, there's nothing in this list of
3 five items that I can see directly related to that issue.
4 How did you select these programmatic objectives? How did
5 that list come about?

6 DR. PAHWA: This is not intended to be a complete list
7 at this point in time. This is a conceptual direction pre-
8 sented and they're exactly the program objectives that one
9 would look at. And, the waste emplacement was something that
10 would have to be looked into for the next iteration. I want
11 to make sure that--this is not complete by any means, at all.
12 But, once we do look at the complete list of the program
13 activities next year and the milestones, when we need to
14 prioritize them, it is possible that one cannot address all
15 of those issues. So, it's not a commitment to do all of
16 these or only these.

17 DR. NORTH: Dr. Cantlon?

18 DR. CANTLON: To what extent now is this system being
19 set up so that you can back off and look at the total waste
20 management system? Because the inputs on thermal loading
21 feed all the way back to the reactors and the mixing of the
22 fuel, whether or not you're going to have a MRS, and that
23 sort of thing. What's happening to couple that portion into
24 the set?

25 DR. PAHWA: Right. Yeah. What is being done in

1 parallel with this is the total system analysis and that's
2 being done with the headquarters and this is only the MGDS
3 part, but at the same time the effort is in progress in
4 parallel to look at the broader issue, the entire system, as
5 well. And, if you're asking me in specific questions, I'm
6 not sure I can answer this. Sareen may be able to address
7 that.

8 DR. SAREEN: One of the things we're doing as part of
9 the total system is developing a total system model that
10 starts with the waste acceptance as it impacts all the way
11 down to the MGDS. An example of the exercise with that model
12 would be a thermal loading, for instance.

13 DR. CANTLON: Thank you.

14 DR. NORTH: Other questions? Bill?

15 DR. BARNARD: In your assessment schedule chart, you've
16 got a series of program phases, one of which is site suit-
17 ability. Are you implying that you're going to be able to
18 make a judgment about site suitability at the end of 1994?

19 DR. PAHWA: No. No, this doesn't necessarily mean that,
20 but at this point in time--well, this should be looked at
21 with these program phases. Again, I want to go back to the
22 word "conceptual" on it. At this time, the milestones do
23 show the ACD phase and LAD phase and then a DEIS and a
24 license application after that. Site suitability may come--
25 the final decision on site suitability may come here. But,

1 we think in terms of the emphasis within the program, we may
2 know enough about site suitability that even though it is not
3 finally addressed, it may be of somewhat lower priority
4 within the program than the other phases, but the final
5 decision on site suitability may be somewhere over here.

6 DR. DOMENICO: Suresh, your thermal loading material,
7 will that lead to what you might consider to be the best
8 strategy for thermal loading? Would that be an ultimate goal
9 of those studies? Because we have end members on that, you
10 know. It's hot, hot and cold, cold and things of that sort.

11 DR. PAHWA: Right, right. I think our answer to the
12 thermal loading will be the impact from the MGDS performance
13 on thermal loading. It does not reflect the total decision
14 in terms of the cost for the MRS and the scheduling and
15 transportation routes and so forth, but, hopefully, it will
16 provide all the answers that the total system studies would
17 need. So, it may, in effect--we may go through enough study
18 that it may, in effect, be--in terms of looking at different
19 scenarios and that would be the MGDS thermal--the performance
20 assessment role on the whole thing. But, I think the deci-
21 sion ought to be made in terms of the look at a total system.

22 DR. DOMENICO: Okay, thank you.

23 DR. NORTH: Bob Shaw?

24 MR. SHAW: I have a mild concern about the use of the
25 word "iteration" and I'd like to comment on that a little

1 bit. And, I'll just use the EPRI modeling as the nature of
2 the comments. In our Phase 1, we collected together a group
3 of experts and we developed a process and our emphasis there
4 was to show the process works and it illustrated how it could
5 be done. In our first iteration, which I've also called
6 Phase 2 which you heard the results of this morning, we went
7 through some major revisions in the Phase 1 and we have
8 developed one that we think is now realistic and credible and
9 can be used. I not only consider that my first iteration, I
10 consider that my last iteration. And, the sense there is
11 that that was a major--both of us were major efforts; the
12 first one to put it together and the second one in which
13 there were major revisions. I consider now that that model
14 is in a suitable form where it can undergo revisions, it can
15 be modified, and it can be exercised. I do not consider that
16 we're going to have another major exercise to go through and
17 consider the whole scope of the entire model and that's what
18 I would consider to be an iteration. But, rather, I think we
19 will be looking at particular questions that arise and some
20 of them were addressed here this morning. What is the waste
21 canister, what about gaseous release, what about colloidal
22 transport, and in particular, we're very concerned about
23 solubility and the temperature effects and even the chemical
24 form of solubility. But, those are just simply modifications
25 and changes that take place.

1 My concern is that we think of iteration as a major
2 effort in which we all sit down and start from ground zero
3 again and come back to some big model. Our model can be run
4 in a matter of hours to exercise it, to look at the relative
5 effects of questions and judgments that come along. Mean-
6 while, having said that, I very much agree with the kind of
7 schedule that Suresh has put up there which indicates approx-
8 imately an 18 month period for reporting. And, I think
9 that's a suitable time over which changes and revisions would
10 have taken place in most of these models and it would be
11 suitable to upgrade the report to show what those changes
12 were and what their effects were.

13 DR. NORTH: Thank you. Any further comments or ques-
14 tions?

15 (No response.)

16 DR. NORTH: On the interest of time, we ought to push on
17 then. Russ Dyer is our next speaker.

18 DR. DYER: Following on the talks yesterday and this
19 morning, I'd like to step back. I'm not going to talk
20 specifically about performance assessment and I'm not going
21 to talk specifically about site suitability. But, what I
22 would like to address this morning is how the site character-
23 ization program and modifications to the site characteriza-
24 tion program can be influenced by the findings, the out of
25 performance assessment, and the out of evaluation, such as

1 the ESSE report.

2 I'd like to use this as just a talking point to
3 start out with. This shows John Bartlett's engine of evolu-
4 tion in a current form, if you will. We have various parts
5 of the program designed; issue resolution, regulatory issue
6 resolution, performance assessment continuing on converging
7 paths. Underlying everything is the site characterization
8 program. We have these large cycles and we have relatively
9 small cycles in here. We have mechanisms by which we can
10 modify the site characterization program. It is under a
11 configuration control process. There is a control mechanism
12 by which we can add to, change, delete parts of the site
13 characterization program. But, the problem I have, and Carl
14 right now, is that in any one given year in our current
15 climate, we are in an unlimited environment. How do we make
16 sure that the parts of the program that we execute in any one
17 year are the most important parts of the program?

18 And, what I would like to share with you this
19 morning--this is a little exercise we have underway to
20 develop a tool which would allow us to re-examine this ques-
21 tion at any time that I need to. Last year, we ran through
22 something like 52 different budget exercises, I believe, each
23 of which has a different set of assumptions, a different set
24 of numbers, and each of which requires that we re-examine the
25 prioritization of the program in order to make sure that

1 given that limited set of resources that, out of that, we
2 pick out the most important things to do.

3 And, I'm going to use this again as a talking
4 point. I'll throw this up. I'm told that my graphics capa-
5 bilities is not that good. But, what we're looking at is
6 essentially a three-dimensional spreadsheet with--I'm going
7 to give you a little more information later about what this
8 face and this face look like. But, in three dimensions what
9 we're building up is something that looks like this which has
10 multiple sheets in here that stack up like so. Major columns
11 of the sheets or the major titles of these individual sheets
12 would be something like ability to detect unsuitable site
13 conditions, provide regulatory assurance, build scientific
14 confidence, maintain constituent confidence, and of course,
15 meet cost and schedule demands and then some aggregate ranked
16 benefit out here. And, what I'm showing here is that this
17 column right here, these rows, would be a listing of tests
18 out of the site characterization plan, studies, activities,
19 aggregates of studies, and we would be able to go through and
20 determine some aggregate ranking which would essentially
21 highlight for us, given a particular set of assumptions,
22 which series of tests would rank highest in the prioritiza-
23 tion scheme given those assumptions. And, I'll set this
24 aside and we'll come back to it in a minute.

25 This strategy follows from the approach we used in

1 an earlier effort, the test prioritization task force, which
2 we finished up a little over a year ago. If you remember
3 back to that effort, we only looked at one reason for test-
4 ing, if you will, and that was public health and safety. The
5 surrogate we used for that was compliance with the cumulative
6 release standard of 40 CFR 191. And, on this setup, this
7 would fall in this category right here. One thing we
8 realized in the process of doing the TPT was that that's not
9 the only reason to do testing. If compliance with 40 CFR 191
10 were the only reason to do testing, then we would have no
11 reason to do any of the environmental program. Of course, we
12 know that that's fallacious.

13 So, let me look at--let me take one of these sheets
14 and the sheet I'm going to take is the first one which is the
15 ability to detect unsuitable site conditions. And, we can
16 use the results out of the ESSE report, identify a series of
17 technical issues across here. We know that we have 106 tests
18 in the site characterization program which make up this side
19 of the matrix and what we want to do is to be able to go
20 through and score the ability of these tests as to their
21 ability to resolve some of these technical issues.

22 And, we're following essentially the spreadsheet
23 model that Bruce Judd and Steve Mattson developed for the
24 test prioritization task force. In this case, though, the
25 specific attribute we're looking for is the ability to detect

1 unsuitable conditions and we have a series of columns across
2 here which fall out of the 33 technical issues identified in
3 the ESSE report. You'll see the colloidal species as one of
4 the columns on here. So, what we will do is go through the
5 list of tests in the SCP, rank or assign scores to those
6 tests as to the ability of a particular test to resolve an
7 issue, such as colloidal species, based on a ranking scale.

8 This is tentatively what we're thinking about,
9 something fairly simple. There's a weighting applied to each
10 of the columns here and the weighting again follows the
11 strategy that we used in the test prioritization task force.
12 It's a conditional probability; namely, the probability that
13 the condition is present multiplied by the probability that
14 the site is unsuitable given that the condition is present.
15 This gives a weight which then is multiplied by the score in
16 here and we get an aggregate score over here. And, this
17 provides for one sheet in the ranking matrix. This would
18 provide an indication, a ranking, for how this test would
19 resolve a particular technical issue, give us a value of
20 prioritization for the ability of these tests to address the
21 unsuitability issue. Now, that was an example of what's
22 going on on this face of this three-dimensional matrix.

23 On the other face of the three dimensional matrix
24 here, we have again listed test, weight, the columns repre-
25 sent major criteria right now. This task has just been

1 kicked off within the last few weeks. Tentatively, what
2 we're looking at is a small list of criteria. Unsuitability,
3 of course, remains a very high priority since Admiral Wat-
4 kins' directive of, I believe, 1989--December of 1989. That
5 still remains the primary objective of the site characteriza-
6 tion program is early determination of site unsuitability if
7 it exists. Public health and safety, of course, is an over-
8 riding concern. A realistic concern that I have is cost and
9 schedule. We can plan all the programs we want, but if we
10 cannot implement it, then it's not much use.

11 Now, this spreadsheet model is a tool and there are
12 a couple of attributes that this tool must have if it's to be
13 of use to me. It's got to be simple. It's got to be some-
14 thing that--probably what I have in mind is a spreadsheet
15 that can run on my PC where if some of the assumptions--for
16 instance, cost and schedule--change in any one of the various
17 budget drills we do, I can go back through and recompute the
18 spreadsheet at any time.

19 We're putting in place a relatively small--I'm not
20 going to call it a task force. It's more of a kitchen cabi-
21 net, a group of experts available that are loading this
22 matrix originally. They represent various technical organi-
23 zations within the project. These are the fields of exper-
24 tise that are represented in this body. These people also,
25 besides being essentially cabinet members, if you will, also

1 represent a entree into the technical expertise available at
2 their various institutions. For instance, whenever the issue
3 of a colloidal transport comes up, I fully expect that Ever-
4 ett Springer of Los Alamos will get in contact with whoever
5 he needs to at Los Alamos to help get intelligent information
6 on how these tests, these specific tests, we have in the SCP
7 could help resolve the issue of colloidal transport.

8 Now, as I said, in order for this tool to be of use
9 to me, it's got to be simple and it's also got to be some-
10 thing that is available in a timely manner. Right now, we're
11 looking at having the fiscal year '93 budget pretty well
12 firmed up by the middle of the summer. So, I need something
13 available immediately by the middle of the summer that
14 addresses how we need to prioritize tests given the fiscal
15 year '93 budget number. So, that means that I'm looking for
16 an initial result, anyway, by the June time frame with the
17 first phase of this particular project; that is the delivery
18 of the tool and the documentation by late summer. This
19 particular effort does not end at that time. This has to be
20 a continuing effort, but I don't intend it to be a continuing
21 task force with monthly meetings, necessarily. What I'm
22 looking at right now is to have something that would be
23 available essentially on-call. Whenever we need to do this
24 exercise, we can reconvene this body, relatively low-level of
25 effort, to re-examine the assumptions that are built into

1 this particular tool.

2 And, in a simplistic way, this simple tool goes a
3 long ways toward integrating the site characterization pro-
4 gram, what we learn out of performance assessment, and what
5 comes out of evaluation efforts, such as the ESSE. Using the
6 ranking matrix type approach, we identify tests that need to
7 be implemented in which case we make sure that there's enough
8 money identified in the budget for the coming year so that
9 the test is implemented, data information flowing out of the
10 tests flows into performance assessment which helps us fur-
11 ther define the technical issues across here by feeding to
12 and from the evaluation effort, and of course, sensitivity
13 analysis may help us select individual tests be defining--by
14 helping refine which test would be more useful for resolving
15 these issues.

16 Use of these results, well, we need to use them, as
17 I said, within the next several months in order to allocate
18 the '93 budget to site studies. We are embarked on a rela-
19 tively ambitious mission right now to scrub the technical
20 program and this will provide input and interface with this
21 long-range programmatic planning. The third thing I would
22 point out is that this simple spreadsheet model can be used
23 to consider any other priorities. As the priorities' assump-
24 tions/constraints that apply to this program change, yearly,
25 monthly, weekly, we can re-examine this spreadsheet, as

1 necessary, to re-examine the validity of the prioritizations.

2 And, that's all I have. Any questions, sir?

3 DR. NORTH: Sounds very interesting. I think we will be
4 very anxious to have another presentation on this at the time
5 when it's available, such as our July meeting.

6 Any questions or comments? John Cantlon.

7 DR. CANTLON: How much of the budget is amenable to
8 actually move in this kind of an allocated process? What
9 percent, roughly?

10 DR. DYER: What I'm looking at right here is that part
11 of the site characterization budget which I control which is
12 the one, two, three, which is about 1/4 to 1/3 of the project
13 budget.

14 DR. NORTH: Dr. Price?

15 DR. PRICE: I just heard you say you were embarked on an
16 ambitious effort to scrub the technical program. I didn't
17 understand what that meant, at all.

18 DR. DYER: Oh, I'm sorry. Looking at out-year activ-
19 ities funding profiles that Carl has given a talk, the Mis-
20 sion 2001 talk--I don't know if you want to talk some more
21 about that, Carl, but--

22 MR. GERTZ: Go ahead. I'll probably add something.

23 DR. DYER: Okay. But, we're just making sure that we
24 know the major milestones that need to be met for the out
25 years are there. We have to make sure that all of the sup-

1 porting things hang together, that all the logic ties
2 together, and that's what we're looking at. The last time we
3 did this was based on a slightly different ESF configuration.
4 What we're doing is going back and re-examining with the new
5 ESF configuration, re-examining our planning basis to make
6 sure that things do, in fact, all hang together.

7 MR. GERTZ: Dennis, that includes about 6,000 activities
8 that are networked and we now want to make sure with our
9 current assumptions that 2001 is still an achievable date,
10 making some assumptions on the budget. We also want to
11 assure that the funding estimate that we have is being under-
12 gone, being looked at now by an independent cost estimating
13 team from the Department. And, of course, we have told you
14 6.3 billion is the total cost of site characterization, but
15 1.2 billion of that has been spent, some of it's escalation
16 and some of it involves potential benefits to the state. So,
17 there's about \$3.5 to \$4 billion of scientific studies
18 between now and 2001. We want to make sure that we've
19 properly allocated funds to them and sequenced the timing of
20 them.

21 DR. PRICE: It's scrub as in cleanup, not scrub as in do
22 away with?

23 DR. DYER: That's right.

24 MR. GERTZ: That is correct. But, certainly, as we look
25 at things and gather new data from the site, if there are

1 tests that no longer seem necessary through a performance
2 assessment analysis or something, then that's another goal
3 and we have a change control process that either add tests or
4 reduces testing and you've heard both sides today--or over
5 the couple of days.

6 DR. NORTH: Dr. Langmuir?

7 DR. LANGMUIR: This refers back in part to what Carl
8 said yesterday, that there was an attempt to obtain another
9 \$70 million for the program to expand on activities for the
10 underground tests. Looking at the evaluation technical
11 issues to be resolved list, you see that they're essentially
12 all things that will not be resolved effectively without
13 going underground. If, as I think many of us suspect, you
14 won't get the \$70 million, you'll be back where you are this
15 year or maybe lower. Do you still intend to prioritize these
16 issues to be resolved this coming year? How are you going to
17 deal with that if that contingency--if that occurs?

18 DR. DYER: Well, within the ESSE, we have--this is not a
19 complete list. There are 33 technical issues that were
20 identified in the ESSE. This is just a representative
21 sampling.

22 DR. LANGMUIR: Okay. But, among these are some of the
23 key issues we've seen come up in the performance assessment
24 studies.

25 DR. DYER: That's correct. Some of which can be

1 addressed from surface-based testing and some of which are
2 better addressed from underground testing. We're not able to
3 get underground. We may have to do the best that we can with
4 what we can get from surface information.

5 MR. GERTZ: Don, let me put it in perspective. This
6 year, we're going to be spending about \$180 million. Next
7 year, our Congressional request is for \$240 million. If we
8 get our Congressional request, most of that delta is going
9 towards getting underground, on with the design of the ESF,
10 preparation of procurement specs, and things like that if we
11 get another 70 in addition to the 240. Now, I'm only talking
12 Yucca Mountain, not John Bartlett's total program. If we get
13 another 70, that would bring us up to 315 or 318. In the
14 oversight committee testimony, four different utility groups,
15 being two from the regulatory side and two from the industry
16 side, supported our additional \$70 million need. So, I have
17 not discounted that we won't get the additional 70 at this
18 time. And, I hope it's there. If not, with the 240, we're
19 going to emphasize underground with the increased funding
20 that we get.

21 DR. NORTH: Carl, you had asked for about a minute to
22 make some comments. Do you want to take that now and keep
23 going?

24 MR. GERTZ: Yeah, okay, I'll do that. Some of it just
25 revolves around just what we summarized on, is that we have

1 started a very aggressive program. We know we need to get
2 underground and that's what the prioritization is going to
3 do. What Russ has pointed out is that given the fact that
4 he's not a cost account manager for ESF, he only is going to
5 get so much money out of the money that we, as a project,
6 divvy up and he wants to make sure he can prioritize the
7 things that he has to do in the testing area. So, that's one
8 thing.

9 The other issue is just another subject. It's
10 certain you've seen through the total performance assessment
11 and site suitability our concern about Carbon-14 and that's
12 appropriate. But, I want to emphasize to you that we are
13 looking at that. We're looking at operational aspects of
14 maybe releasing that before you put it underground. It
15 wouldn't be a problem if you could release it before you put
16 it underground. There's other ways we're looking at.
17 Engineered barriers, they pointed out, would be an oppor-
18 tunity to mitigate Carbon-14 releases under these regulations
19 and we are working with the regulator, with the EPA as we
20 pointed out yesterday to see if they can become more consis-
21 tent in their Carbon-14 release because right now it's incon-
22 sistent with Clean Air Act and other releases for this par-
23 ticular radionuclide.

24 DR. NORTH: Would you clarify that about releasing
25 before under--going underground?

1 MR. GERTZ: Currently, you know--and this is a scenario
2 that's been presented. Currently, if you put pinholes in the
3 fuel rods, release the Carbon-14 without filtering or any-
4 thing, it would meet all current standards for above ground
5 release, assuming 10mr released to an individual at the site
6 boundary.

7 DR. NORTH: So, there is a serious proposal to put
8 pinholes in fuel rods?

9 MR. GERTZ: Not at all. Not at all. What we're trying
10 to point out to our regulators is that it seems inconsistent
11 for health effects to have a certain release requirement for
12 repositories and another for fuel operational facilities.

13 DR. NORTH: So, what is really going on is a discussion
14 with EPA with regard to the revision of 40 CFR 191 and the
15 treatment of C-14 in that regulation?

16 MR. GERTZ: Certainly, that's going on, but in the
17 process of doing that, you come up with a logic or scenario
18 that says, gee, if we have trouble meeting in an underground
19 disposal, let's treat it above ground. Let's do something to
20 it above ground so we don't have the problem for future
21 disposal.

22 DR. NORTH: I think we'd welcome listening to more
23 discussion of what exactly the treatment is if we're going
24 for treatment as opposed to regulatory relief.

25 MR. GERTZ: Yeah, it's a very conceptual level and I

1 hope we don't--we're not designing facilities or processing
2 activities right now to address that.

3 DR. NORTH: No pinhole factory?

4 MR. GERTZ: No, no, not in any plans. But, that is a
5 point that we've pointed out to the regulators that if you
6 were a utility and somehow your fuel--and, they do have
7 defective fuel that releases carbon--if it all was released,
8 it would not be in violation of current standards right now
9 in a poll.

10 DR. NORTH: Any further questions or comments? Dr.
11 Cording?

12 DR. CORDING: I was wondering about the comment on the
13 additional funds, 70 million for going underground. If there
14 was a scenario that that total amount weren't available, are
15 there other possibilities of going underground without, say,
16 the full number of boring machines or an initial effort to
17 get underground in the next fiscal year without getting that
18 full funding?

19 MR. GERTZ: Bill is going to talk about it a little more
20 later when we update you later on the ESF, but let me point
21 out that right now our commitment or the Secretary's commit-
22 ment is a license application in 2001. And, to us, that
23 involves almost a four TBM operation in order to get under-
24 ground, both Calico Hills, and get the data you need. So,
25 we've not backed off from a 2001 license application at this

1 time. And, just last week we issued nationally an RFP for
2 the best TBM expertise to help us design the equipment,
3 purchase the equipment, and eventually build the facility.
4 And, throughout that RFP, we have the flexibility to use one,
5 two, three, or four TBMs, or different size TBM, if we choose
6 to do some piloting thing. But, right now, our plans are
7 really to try to do the whole job as we've stated we were
8 going to do it. We'll always look at contingencies depending
9 on where the funds come up.

10 DR. CORDING: I guess the point would be that you're
11 saying then if you don't get the full funding, then that date
12 has a possibility of slipping. But, the other question would
13 be assuming that you at that point decided that the date had
14 to slip if you didn't have full funding, would there be a
15 possibility with some lesser amount to go underground and get
16 going so that it would minimize the amount of slippage or the
17 necessity of ramping up to accomplish your task later?

18 MR. GERTZ: Sure. Certainly, one of the scenarios we
19 looked at was just one TBM and start that underground from
20 Exile Hill or wherever. That's one of the things we're
21 looking at. As you're aware, our plans--I think even our
22 baseline plan--it's a sequence start of all four. You don't
23 start all four at once. Obviously, two are halfway down the
24 ramp or so and so it might be a case where instead of
25 sequence plan, you just start the one and wait before you get

1 to number 2, number 3, or number 4.

2 DR. NORTH: Other questions or comments?

3 (No response.)

4 DR. NORTH: At this point, I think we want to take our
5 break. If we could try to be back by 10:30, please.

6 (Whereupon, a brief recess was taken.)

7 DR. NORTH: Let's reconvene as quickly as we can,
8 please.

9 Next item on our agenda is comments from the State
10 of Nevada which will be given by Steve Frishman for the
11 Agency for Nuclear Projects. Steve has promised that he's
12 not going to use any viewgraphs. So, Steve, please go ahead?

13 MR. FRISHMAN: Thank you, Dr. North. You're right about
14 the viewgraphs. Someone once said we'll do it like the
15 economists do, you just imagine the viewgraphs.

16 Well, first, I'm here to tell you sort of following
17 a comment that was made yesterday and that's, no, Virginia,
18 there is no Deus Ex Machina. It was explained once. Do I
19 need to explain it again? That's the goddess who comes down
20 in the basket to save everybody from everything.

21 Russ took a step back just a few minutes ago and I
22 want to take a step even a little farther back and start
23 looking at what this program really is, where the Board sits,
24 where the state sits, where the public sits because what
25 we're seeing--and, I think people have said it in different

1 ways--is we're seeing a growing momentum to build a project
2 rather than what's supposed to be going on which is a very
3 careful scientific investigation of a site to see whether, in
4 fact, it will isolate waste.

5 Now, the Board has, I believe, a couple of things
6 to remember. One is your original charge which is to evalu-
7 ate and report on the technical validity of the site charac-
8 terization program and including transportation. I think
9 Senator Hickey yesterday reminded you of the transportation
10 piece which is a very important one which the Department has
11 for public purposes essentially deferred until 1997/1998
12 before the public can really get a look at it. And, I think
13 you should well heed his comment yesterday because the public
14 is extremely worried about transportation both in Nevada and
15 nationwide.

16 There's another thing I think the Board needs to
17 remember in terms of its oversight and review of the tech-
18 nical validity of the DOE's program and that's that, if I'm
19 correct, you go out of business at the end of site character-
20 ization. You're not here for licensing.

21 DR. NORTH: Not true.

22 UNIDENTIFIED VOICE: One year after.

23 MR. FRISHMAN: One year after.

24 UNIDENTIFIED VOICE: After receipt of waste.

25 DR. NORTH: Yeah, we go out of business when waste is

1 received.

2 MR. FRISHMAN: Okay. Well, that is essentially--that
3 is, essentially, is the site suitable? That's the question.

4 DR. NORTH: No, no. It's when waste starts to get
5 delivered.

6 MR. FRISHMAN: Meaning?

7 DR. NORTH: I think that's 2010.

8 MR. FRISHMAN: Well, what that means is a receive and
9 possess.

10 DR. NORTH: Yeah. At that point, I'm going to be
11 approaching the age of some of our older Board members. I
12 mean, I'm delighted to have John along so that I can make
13 that statement now and I hope I'm going to be in great shape
14 as he is when that time comes. But, we're a long way off.

15 MR. FRISHMAN: Well, if we all keep flying and if I keep
16 smoking, none of us will be around anyway.

17 Well, my point is that the technical validity of
18 the work that is going on is your charge and we're seeing a
19 lot of things are developing about how to build it as opposed
20 to whether, in fact, it ought to be built. And, you know,
21 there's a whole progression of documents, a whole set of
22 changes that are going on right now in terms of the develop-
23 ment of the program that I think need to be looked at pretty
24 carefully. And, I guess I'm going to be doing a fair amount
25 of talking around it. So, I probably ought to just tell you

1 what the two elements in my bottom line for today are.

2 One of them is that the Board should be calling for
3 a comprehensive site characterization plan. Whether, in
4 fact, it is the plan announced in the Nuclear Waste Policy
5 Act or not probably doesn't make a great deal of difference.
6 But, there needs to be a comprehensive plan out there that
7 tells you, tells the state, tells the public, tells the
8 industry, tells the consumers how the money is being spent,
9 what it is being spent for, and what the objective really is.
10 The objective up until the end of site characterization,
11 which could be tomorrow or 10 years or 50 years from now, the
12 objective is to determine the suitability of the site.

13 The last lawsuit that the State of Nevada filed in
14 the 9th Circuit, while the Department proudly advertises we
15 lost, well, we won one big thing and I've listened to the
16 change in the discussion ever since then. What we won was
17 the Court announced that 10 CFR 960, the guidelines called
18 for in Part 112A of the Nuclear Waste Policy Act, are the
19 Secretary's standard of judgment for site suitability. And,
20 we heard Steve Brocoum yesterday talking about the internal
21 arguments about whether the guidelines are valid for use on a
22 single site, which most of the people in the Department felt
23 at the time in 1987 was not true. They felt that the only
24 thing the guidelines were for was comparison of sites. Well,
25 the fact is if the Secretary doesn't have 960 for a standard,

1 he has no standard, whatsoever. So, now, what we're looking
2 at is an application of 960.

3 I gave you half of the bottom line which is we need
4 a comprehensive site characterization plan of some sort that
5 is reviewable by everyone. The other half of the bottom line
6 is we need a true evaluation of site suitability, one that
7 adheres to 10 CFR 960. You heard yesterday after some rather
8 astute questioning that if you read the letter of the regula-
9 tion, the site is unsuitable on C-14. We heard at least some
10 hinting that if you read the letter of the regulation rela-
11 tive to groundwater travel time, the site very likely is
12 unsuitable.

13 Now, the question is, is the program going to focus
14 itself in such a way that it can go directly to the question
15 of whether you meet regulations or not? This is why I said,
16 no, Virginia, there is none because it is most likely that
17 the EPA regulation is not going to significantly change and
18 give the Department what it wants. There may be ways around
19 the C-14 problem and there may be--it may, in fact, be
20 cheaper and easier to try to get around it than go through
21 it. And, maybe that's where the talk ought to be. I know
22 the Board took maybe--had some discomfort in the past when
23 I've talked about whether I think the Board ought to be in
24 the business of looking at the regulations. I still believe
25 even after discussion with most of you, I still believe you

1 should not be in the business of looking at regulations. You
2 should be in the business of looking at the technical valid-
3 ity of the work that's going on.

4 To me, it is outrageous that the site suitability
5 evaluation would come up in the area of gaseous release and
6 suggest that it's the regulation that's the problem. How do
7 you get that way when you have a group of people who are
8 supposedly doing scientific reviews, objective scientists
9 reviewing the Department's work, reviewing the data on the
10 site, how do you get to a recommendation in a critical regu-
11 latory issue that it's the regulation that's the problem, not
12 the site? That's pretty strange to me.

13 So, I think that the early site suitability evalua-
14 tion, overall, needs to be redone in the light of a literal
15 reading of the regulations that the Department itself promul-
16 gated. The only reason they have problems with interpreta-
17 tion now is that they're trying to apply them to a site that
18 was handed to them with their own encouragement. So, two
19 pieces: site characterization plan that is readily reviewable
20 by all; early site suitability evaluation that, in fact,
21 addresses the regulations and is accessible to all.

22 I think you've probably all seen the copy of the
23 letter that we sent to John Bartlett regarding the early site
24 suitability evaluation and the fact that it went out as a
25 contractor document, it went out with letters addressed to

1 the principals including the State of Nevada, including this
2 Board, "Dear Reader, please review." It's a legal dodge.
3 The Department interpreted the guidelines to its own purposes
4 in order to keep on the myth of suitability of this site for
5 another about \$300 million or \$400 million worth a year.
6 And, the Department at the same time escaped the legal lia-
7 bility of having rewritten a promulgated rule. Sooner or
8 later, the Department is going to have to live with that rule
9 or go back through the Administrative Procedures Act process
10 and change that rule. To carry on with a re- and probably
11 mis- interpretation of those guidelines is a disservice to
12 everyone, and everyone, I mean, the people of the country and
13 the world where we do have a major problem to solve. So, I
14 think there should be a call from this Board for both of
15 those two things to happen.

16 Now, if you look at the early site suitability
17 evaluation, first of all, there are some real process defects
18 in terms of how does the public really get at it, what do
19 your comments mean if you make comments, how do they get fed
20 into the overall issue of site suitability? The Department
21 has done a wonderful job of dodging in the sense of saying
22 that this is one input into the director's decision about
23 whether to continue with this project or not. Others are
24 schedule and budget and so on. Well, the guidelines are the
25 Secretary's standard. Yes, other things can happen. I don't

1 in my wildest dreams think the Secretary, himself, is going
2 to give up. But, I think the Secretary needs to know in
3 very, very clear terms how this site, in fact, faces up to
4 those guidelines.

5 Now, there's some interesting things that go fur-
6 ther with the environmental--or with the early site suit-
7 ability evaluation. And, that's that it claims to be based
8 both on information from the environmental assessment that
9 was done, from information developed or at least re-inter-
10 preted for the site characterization plan, and further new
11 information. You look through the references in there and
12 what you find is that it appears that all the really new
13 information is in the form of internal memos, referenced.
14 Now, if anybody is going to do a review of this document in
15 90 days, what is the availability of all this new data that
16 is internal memos that are referenced? And, they're essen-
17 tially memos that went to Jean because she was doing the job.
18 That's one part of the problem with that.

19 The other is that both the people involved in the
20 internal review and the peer reviewers apparently didn't have
21 access to all the information that's out there. I looked at
22 least or tried to find out where this list of references came
23 from and it appears what it is is each one of the lead
24 reviewers, such as Dwight said he was lead reviewer in one
25 particular area, each one of them was asked to submit hard

1 copy of all of the references they used and thought were
2 relevant. And then, they're all kind of stacked up and the
3 final list of references is the full stack. Well, notably
4 missing from that list are, first, all of the state's com-
5 ments on the environmental assessment; all of the state's
6 comments on the site characterization plan; and the addi-
7 tional documentation that we have presented to the system
8 even at the level of the Governor to the Secretary regarding
9 the site suitability under 10 CFR 960. Also missing are
10 references to such things as the NRC's site characterization
11 analysis which is the NRC's only reason to even be reviewing
12 this program right now under its own regulations. How does
13 the site characterization plan address and relate to the site
14 characterization analysis? So, what we have is sort of a
15 closed internal system where the Department is feeding itself
16 what it wants to know.

17 Now, we've asked a set of procedural questions that
18 we're waiting to hear from John Bartlett, waiting to hear his
19 answers to these questions. And, it goes directly to one of
20 the boxes that Russ had in his three-dimensional picture
21 there and that's scientific credibility and public confi-
22 dence. If the Department is, in fact, married to the idea
23 that the site is not unsuitable, then it should go public in
24 a public process in the course of following the Secretary's
25 directive to do an early site suitability evaluation. It

1 should go forward with that in a public process, not one that
2 is a halfway approach where John Bartlett convenes a group of
3 his selected public in Chicago to talk about a mountain in
4 Nevada. It needs to be fully opened. If, in fact, the
5 Department is married to this idea, the Department should put
6 out a draft report and allow it to be fully reviewed, make
7 all the references available, and let the public, including
8 all of the interested parties, have a clean, clear view of
9 what's going on. And, I would suggest that the Department's
10 interpretation of the guidelines and the Department's sugges-
11 tion that a regulation ought to be changed will not survive
12 that process. And, the reason why it probably won't is
13 because Yucca Mountain very well--it is very likely to not
14 survive the process itself.

15 Now, the clamoring to take care of the C-14 problem
16 is really one of trying to back the regulations off. We've
17 had a long history of this and I talked about this at the
18 last Board meeting in terms of where the Department lays the
19 blame for the fact that it is continuing to be essentially
20 inactive in the area that you are most interested in which is
21 analysis of a site. We've gone through--and I've talked
22 about this before--we've gone through the progression of
23 blaming various institutions. Well, I thought it was great.
24 This is the first time in almost three years that I could
25 sit through a whole meeting and not hear the state bashed

1 even once for having held up the program. And, it's because
2 the fact is we didn't do it. Now, we're moving on to other
3 blame and this came out in the Senate hearing last week very
4 clearly. You know, the state is no longer the problem, the
5 Department is now blaming budget problems. Okay, we saw
6 that. And, we also saw that maybe the most influential
7 committee in the Senate said, well, budget problems aren't a
8 good enough excuse. So then, the Department starts trying to
9 blame the regulators and we have a key Senator who isn't
10 going to let that happen until he had independent evidence
11 that it's the regulators who are the problem. So, we're in
12 this situation of who gets blamed next.

13 And, I heard an interesting thing from Russ where
14 he talked about site--well, the question came out, you know,
15 if you have budget problems, how much work really is affected
16 by that? Well, I think Russ said about 1/4 to 1/3 is the
17 actual work that is supposed to go on of the Yucca Mountain
18 budget. Well, it's interesting that last year, just 8% of
19 the total project budget put the Yucca Mountain Project on
20 its ear if you'll remember, literally on its ear. What it
21 did was it turned the program around to where it deferred
22 what you people want most and I disagree with you, but what
23 you want most is getting underground. An 8% twist in the
24 budget. So, we have a problem now where the blame keeps
25 getting shifted around. You heard and I think you already

1 have the premonition that they're not getting underground
2 this year or next year, either.

3 And, now the question is what do they do? Well, we
4 have laid out for years now the necessity for them to do some
5 very serious surface based work to get at the letter of the
6 regulations in terms of disqualification. They have yet to
7 do that. Even that continues to get deferred. The work
8 that's going on right now is looking at matrix flow. It is
9 not looking at the real issue on groundwater travel time
10 which is fracture flow. That's an issue that's going to have
11 to be resolved and if, in fact, can be resolved without
12 getting underground if you want to be conservative about it
13 and get on with the job of trying to solve the big problem,
14 rather than stick it on Yucca Mountain. And, for a rela-
15 tively small amount of money, you can do that. You don't
16 need to buy four brand new TBMs. And, even if you want to
17 get underground, you can go get smaller TBMs literally off
18 the shelf right now.

19 So, the approach that we are suggesting is if you
20 don't take our word for it now, get out and do some of the
21 basic geologic and hydrologic investigation that is necessary
22 and write a real site suitability evaluation out of that
23 rather elementary type field work, look at the surface
24 expression of things that are very possibly hydrothermal
25 expressions on the surface, look at those things and try to

1 figure it out. Trench 14 is not the answer. There's lots of
2 that stuff around that nobody wants to look at except a very,
3 very few people. The question is has hydrothermal activity
4 reached the surface or not? A pretty critical question.
5 And, Trench 14 is maybe the most ambiguous of all the things
6 you could look at. It just happened to be the first thing
7 somebody saw one time to start the controversy. Do some
8 drilling, find out how the fracture zones work, find out how
9 those faults work. You can do it without getting under-
10 ground. You get underground, all that's going to happen is
11 when it rains, it's going to rain on you underground. And, I
12 think almost everybody knows that. And, it's going to take a
13 lot of time, a lot of misery, and a lot of money to find out
14 that you get rained on underground, too. And then, it's
15 going to take a lot of rationalization to figure out, well,
16 that rain is okay.

17 So, our suggestion is stand back, write a plan for
18 how from the surface you figure out whether you can meet the
19 letter of the regulations, not how you would like the regula-
20 tions changed, and then go at it in a very simplified geo-
21 logic field investigation approach. It was said yesterday
22 that the site has been very well mapped. Well, maybe it has,
23 but where's the map? There is no final geologic map that I
24 know of at a scale that shows faults other than those that
25 have been displaced more than six or eight meters--or feet.

1 I can't remember which. But, there is no fine scaled geo-
2 logic map of the site that we know of. And, if somebody has
3 one, we'd sure like to see it. Do the basic geology and I
4 think that's what the Board should be calling for, much more
5 than trying to figure out how to do it.

6 Now, there's just one more piece of this puzzle
7 that continues to emerge and that's that it appears to me--
8 and, I've discussed this with some other people--that the
9 more thinking that goes on--not necessarily more data about
10 the site, but the more thinking that goes on--about the site,
11 the closer it's getting to why don't we just engineer this
12 thing and get it over with? The geologic barrier seems to be
13 being pushed farther and farther back in people's minds
14 because you run into the complexities that everybody knew you
15 were going to find. If you remember Jim Asselstine when he
16 was on the Nuclear Regulatory Commission told Ben Ruesche
17 years ago when Ben was looking for some kind of sort of
18 signal of approval from the NRC, Jim Asselstine said just
19 remember, all of these sites--at that time, there were like
20 nine sites out there--all of these sites look better now than
21 they ever will again. And, we're proving that daily right
22 now about Yucca Mountain. The more you think about it, the
23 more you look at the data, the more you try to do your per-
24 formance assessments with essentially imaginary data sets to
25 check your models that you then will have to go back and

1 validate anyway and many of them probably are not vali-
2 datable, the more you look at it, the less likely it is
3 you're going to get to the confidence that you need about the
4 geologic barrier. So, I see this shift going towards the
5 engineered barrier or engineering. Well, that's not what the
6 regulation says. So, let's get realistic about it and are we
7 going to characterize this site to the point where we can
8 compare it to the letter of the regulation or are we going to
9 plow along, continue to spend the money, continue to spend
10 the time, continue to make a solution to the real problem
11 that we have about spent fuel and radioactive waste farther
12 and farther into future generations or are we going to think
13 about how to really solve this problem if we're committed to
14 geologic disposal? Geologic disposal should not fail because
15 of a failed program. If geologic disposal is, in fact, a
16 valid approach, we ought to be out there like the Canadians
17 and like the Swedes trying to determine whether, in fact, it
18 really is a valid approach.

19 So, that's pretty well where we are right now.
20 I've asked you for two things and they're two things that
21 we're going to keep doing. And, I think in the long run they
22 may be the best things that could be done right now in terms
23 of trying to figure out what the future is for this country
24 dealing with its radioactive waste.

25 Thank you.

1 DR. NORTH: Thank you. Questions or comments from the
2 Board members?

3 (No response.)

4 MR. FRISHMAN: As expected.

5 DR. NORTH: I'd like to invite Jean Younker, if she'd
6 like to respond to your comments with regard to the use in
7 the ESSE of the comments from the State of Nevada and the
8 comments from the Nuclear Regulatory Commission. It seems to
9 me you raise a very good point. Those issues definitely
10 ought to be considered and should be part of the material
11 that the expert team reviewed.

12 MS. YOUNKER: The way the team was put together, we had
13 the members of the team that were actually the people who
14 responded to those comments in the largest part. So, within
15 the collective intelligence of the team, I think we had
16 probably six or seven of the key responders to the state's
17 comments, as well as to the NRC comments on the site charac-
18 terization plan. So, I think that there's no doubt in my
19 mind that we did consider the comments we received and the
20 responses that we gave to those comments.

21 Also, since I have the opportunity, let me mention
22 that the complete set of hard copies of all references for
23 the ESSE report were made available to the peer reviewers and
24 they, in fact, did request--we shipped just boxes and boxes
25 of references to most of the peer reviewers and all of those

1 copies are also available to all people who are reviewing the
2 report during the public comment period. So, the references
3 are really available. Steve mentioned there are a few per-
4 sonal communications referenced in the report. That is true
5 and those are written such that those can also be made avail-
6 able, though they certainly have not had, you know, formal
7 technical review like the ones that are published documents.

8 DR. NORTH: So, it is possible that if some citizen in
9 the state of Nevada wants access to these documents, they are
10 readily available in a local library or through the Depart-
11 ment of Energy?

12 MS. YOUNKER: Right. Yeah, I think the way it was
13 expressed--I'm not sure what it says in the letter--but all
14 of the references are available through your office, Russ.
15 Is that correct?

16 DR. DYER: Yes. Through--I think it's through Jerry.

17 MS. YOUNKER: Jerry, you're listed as the contact?
18 Yeah, there is a contact listed, I think, and they are avail-
19 able. We can provide copies.

20 MR. GERTZ: Okay. And, I'd just like to emphasize that
21 and I think even Steve would reiterate any time anybody has
22 asked for anything, be it the public, the state, or anything,
23 we provide it to them as soon as we can. And, I think that's
24 consistent with our policy in the state. And, this, of
25 course--our view of the ESSE was to provide an opportunity

1 for people to comment and Steve does point out John's direc-
2 tor's forum is going to be in Chicago, but at the same time--
3 not the same time, but in May, we hold what we call our--it
4 will be our 23rd, 24th, and 25th public meeting in the state
5 where they're allowed to ask us about anything. We'll have
6 some of the authors for the ESSE there for one on one conver-
7 sations with the citizens of the state and we think the one
8 on one interaction seems to work best as we've talked to the
9 citizens. So, while certainly Steve makes some points, we'll
10 be eager to address his specific questions on the ESSE when
11 it comes in. We are right now in the process of answering
12 the process letter that was written to John Bartlett and
13 he'll have an answer to that shortly. And, I think this is
14 just an ongoing dialogue that we will continue to have with
15 the state as we move forward on this project.

16 DR. NORTH: Carl, would either you or Jean like to
17 address any comments to the issue about the letter of the
18 regulations with regard to C-14?

19 MR. GERTZ: Jean points to me. Well, I think we cer-
20 tainly are addressing C-14 in our dialogues with the EPA. I
21 think that's appropriate. They've asked us to comment on the
22 regulations. Does the C-14 regulation really address public
23 health and safety? To take a literal translation, I think
24 Steve is aware that probably it was promulgated on the basis
25 of a saturated site. I think that's appropriate.

1 MR. FRISHMAN: Well, first of all, I don't believe that
2 the EPA has asked you to comment on the regulations any more
3 than they've asked anybody else to.

4 MR. GERTZ: Correct.

5 MR. FRISHMAN: We're all working off working papers that
6 are said to be for internal use. It's the informal public
7 hearing process that went on with the original promulgation
8 of this rule that got the rule in trouble in the first place.
9 So, yes, anyone is entitled to comment, you know, prior to--
10 you know, in the rule development procedure any way you want
11 to. And, we've all been asked to do it at various levels and
12 we've all taken that informal request at various levels of
13 rigor.

14 The rule itself, while its considerations were
15 primarily towards a saturated site because that's what people
16 were really thinking about at the time, the rule itself was
17 still, if you'll recall, promulgated as, first of all, a
18 release standard, not a risk standard, and the level of
19 releases were determined, even with some relaxation by the
20 EPA Science Advisory Board, on the basis of what was con-
21 sidered to be achievable by existing or available technology
22 in geologic disposal. And, that's your problem, not the
23 public's problem with a generic rule. And, sooner or later,
24 you're going to face it. But, the original rule was essen-
25 tially a rule based on what is considered achievable and, in

1 fact, up until about a year and a half or two years ago, the
2 Department was saying we don't care what the standard is, we
3 can live with it. Until you figured out you had a C-14
4 problem.

5 DR. DOMENICO: Steve, I'd like to have the honor of
6 being the first Board member to ask you a question in all the
7 years we've been associated.

8 MR. FRISHMAN: I feel honored. I feel honored, as you
9 do.

10 DR. DOMENICO: It's not a question as much as a state-
11 ment and then a question. But, the Carbon-14 is not the only
12 problem that could render this site unsuitable.

13 MR. FRISHMAN: No.

14 DR. DOMENICO: If we look at the EPA release standards
15 as a measure of unsuitability, a lack of retardation in those
16 rocks and the absence of a robust unsaturated zone will
17 render this site unsuitable.

18 MR. FRISHMAN: Absolutely.

19 DR. DOMENICO: Because we'll have the large inventory
20 nuclides breaking through. An abundance of colloids in the
21 saturated zone in the absence of a robust unsaturated zone
22 will make this site very, very suspect. Colloids, let's face
23 it, they move at the speed of groundwater or faster and they
24 destroy any retardation capabilities.

25 MR. FRISHMAN: Correct.

1 DR. DOMENICO: A large flux through the system in the
2 absence of a robust unsaturated zone and with limited retar-
3 dation could render this site unsuitable in the sense of
4 violating the EPA standard. Now, I was referring to those
5 things with the preconceived notion of a 1,000 year
6 engineered barrier. We recognize that in the absence--if we
7 went for a long term barrier, these things mean nothing any
8 more. Right? These things--if we go for a 10,000 year
9 barrier, these things mean nothing. And, I guess you've
10 noted in our reports we have advocated at least investigation
11 of long-term barriers. Also, there are some people who feel
12 that if you keep the repository hot and blow off all the
13 water, these features of breakthrough also mean nothing. How
14 do you feel about that?

15 MR. FRISHMAN: Well, thank you. You're doing the part
16 that I didn't think I could get into a half an hour ago.

17 DR. DOMENICO: We didn't rehearse this.

18 MR. FRISHMAN: No. No, honest. The site is suspect for
19 many, many reasons and, as Pat had laid out, some of the real
20 ones, the C-14, happens to be a very visible one where we're
21 faced right up against a regulation. Now, these other issues
22 are probably the really critical issues for whether the site,
23 in fact, can contain waste or not. And, we have long said
24 and there are others who say that the likelihood of ever
25 resolving those issues is probably pretty small, resolving to

1 the level of--I won't say non-controversy--but even resolving
2 to a level to use the NRC reasonable assurance. It's really
3 suspect whether you can ever get far enough to answering
4 those types of questions.

5 And, I'll tell you one of the things that you got
6 into yesterday which is kind of interesting and that's that
7 you started off in this direction of saying, well, gee, maybe
8 as a Board we ought to look at the use of expert judgment and
9 look at how it's applied, what's it really doing to the
10 program, and to the scientific drive in the program, if there
11 is such a thing, you know, what is expert judgment really
12 doing in here? You can document it all you want. That
13 doesn't mean it's right.

14 Well, the Advisory Committee on Nuclear Waste with
15 the NRC is also taking a very hard look at the use of expert
16 judgment. And, at least a couple of members there are very
17 skeptical and they're skeptical in the sense that they have
18 the duty to the NRC. They're trying to figure out what the
19 role of expert judgment really ought to be in the licensing
20 process and they seem to be moving towards saying there's an
21 awful lot of data that is already out there, plus an awful
22 lot that could be collected, to make some judgments without
23 holding up the process of expert judgment solutions as being
24 the proof that is necessary in a licensing process.

25 Now, the question that's involved there is if it

1 doesn't--you know, if it isn't going to pass muster at the
2 licensing level, why should it pass muster at the Secretary's
3 suitability determination level? And, that's the question
4 and I'll turn the question back. You know, knowing all of
5 those things that you said plus some more that you and I
6 didn't say that we know, I'll pass it back and that's that if
7 it isn't going to pass muster in licensing, why should it
8 even be considered to pass muster at the Secretary's level
9 and why should we spend 10 years and \$6.3 billion? That
10 knowing the way DOE programs go, if we've got 10 years and
11 6.3, we're probably looking at maybe--you know, if we can
12 even put a year on it, by the time things have gone, we may
13 be looking at 20 years and 18. Fairly exemplary of how other
14 big DOE projects have gone.

15 I think Max has a few things to say to me now.

16 DR. NORTH: Max, why don't we give you the opportunity?

17 MR. BLANCHARD: Thank you, Warner.

18 Steve, I'd like to address your question about the
19 Department's involvement in Carbon-14 issue and I think the
20 one easy way to address this is to look at the National
21 Research Council's report that came out in 1990 entitled
22 Rethinking High-Level Radioactive Waste Disposal. That
23 particular Board, I think, is probably one of the foremost
24 Boards in the country that has been looking at high-level
25 waste, in addition to this particular Board here today. One

1 of the features that they focus in their abstract is a warn-
2 ing to the people that are governing the program, overseeing
3 the program, and that is at this stage of developing the
4 concept, don't be overly concerned with technical specifica-
5 tions to otherwise end up with inflexibility in the applica-
6 tion of the concept, and therefore, not achieving the overall
7 safety goals that you're trying to achieve. And, in their
8 recommendations, they ask--in fact, Recommendation #4, they
9 recommend that the Department should continue to expand its
10 current efforts and become a more responsive player with EPA
11 and the NRC and especially in areas where over-prescription
12 or inflexibility may have crept into and affected the pro-
13 gram's goals and concepts as a consequence of early determi-
14 nation of overly specific specifications. And, I think the
15 Carbon-14 issue, as a number of people have authored in
16 technical reports, is a good indication of overly-prescrip-
17 tive regulations that don't really indeed address the safety
18 of the people.

19 MR. FRISHMAN: Okay. Well, I guess I can respond to
20 that in a couple of ways. One is that--not to diminish the
21 Board at all, but the Board is just one of the players in
22 this major controversy. And, I don't believe that they have
23 any greater halos than the rest of us do. We've all planted
24 them on our own heads. So, I don't think that just quoting
25 from one book or I can get another book and quote from

1 another book, I don't think that that really gets at the
2 problem.

3 The other thing is if we turn it around and you
4 want to put a lot of stock in that Board, that Board, if you
5 recall, recommended in the past that sites, such as Yucca
6 Mountain, be looked at very, very carefully before they are
7 ever brought forward as candidates. And, that's the problem
8 that we're dealing with right now. It was not looked at
9 very, very carefully before it was ever brought forward.
10 It's about as complicated a site as you could want to get
11 into. If you go back to the 1980 EIS on geologic disposal
12 and look at what are considered adverse factors about a site,
13 I think there's 18 of them listed on a graph or on a table
14 and Yucca Mountain only has 14 of them. So, if you want to
15 use the National Academy Board, take its admonitions to site
16 selection, as well as maybe its ruminations about regulation.

17 DR. NORTH: I think before going on to the next speaker,
18 I'd like to make a few remarks myself on the issue of this
19 Board's interaction with the C-14 standard. I back up to
20 reviewing my thinking when I was first on this Board, finding
21 out that there had essentially been no performance assessment
22 done since the '86 versions, and I had the 6500 pages of the
23 SCP delivered to my office. My secretary thought it must be
24 a machine because, surely, no report could come in a box that
25 was that big and weighed so much. And, my concern initially

1 was here is a very costly and elaborate program to charac-
2 terize a site and are we going to have that program managed
3 in such a way that the performance assessment is going to
4 come at the very end after all that data has been collected
5 and we lose the opportunity to have an early determination of
6 whether the site is, in fact, suitable before we spend all
7 that money? And, it seems to me that issue is still alive
8 and well. And, I'm very pleased at this point with the
9 amount of progress that's been made seeing iterative perfor-
10 mance assessment institutionalized with the Department's
11 program and the strong stress that the program now places on
12 determination of site suitability early.

13 It seems to me on the C-14 issue, it is very impor-
14 tant for performance assessment to figure out what is the
15 magnitude of that issue and what are its implications for
16 repository design and maybe even, as we were discussing just
17 before the break, some kind of pre-treatment of spent nuclear
18 fuel. It turns out pinhole was really the wrong word to use.
19 It's more like heat treating. But, still, there are some
20 disconnects here that treating the fuel somewhat differently
21 in the reactor before it goes into the spent nuclear fuel
22 disposal system makes a difference in terms of the early
23 pulse that shows up in the performance assessments. Now, at
24 this point, we've got a lot of differences between the two
25 performance assessments in terms of how serious the C-14

1 issue is.

2 I think it's very important for this Board to
3 strongly encourage the Department of Energy to continue this
4 kind of performance assessment to illuminate the consequences
5 in these various areas, C-14 being one, retardation of radio-
6 nuclides being another, to see what the magnitude of these
7 technical issues is. It certainly is not within our statu-
8 tory charter to be advising with regard to the revision of
9 the regulations. But, it seems to me we can serve a very
10 important purpose that is definitely within our statutory
11 charter to try to see illuminated the technical consequences
12 as they must be measured against the regulations whether this
13 is in fine detail the letter of the regulation or more gener-
14 ally. I also feel that it is incumbent on us as appointees
15 of the president to try to clarify these issues for the Amer-
16 ican public. So, I hope we don't just look at the letter of
17 the regulation, but we try to also portray does this make
18 sense? Is it consistent with other regulations? How much is
19 it doing to protect public health and safety? But, then, EPA
20 and others who have the responsibility for revision of the
21 regulations have to engage in that process. Our statutory
22 charter is simply to try to illuminate these issues and write
23 at least two reports a year to Congress.

24 MR. FRISHMAN: If I may, just briefly, air the private
25 discussion that I've had with a number of members here and

1 that's where I differ with what Warner said. It's that I
2 believe your job is to make sure the Department of Energy is
3 protecting the health and safety of the public and that's
4 where we differ.

5 DR. NORTH: Well, I'm not sure we do. I believe that's
6 a very important part of our job. But, I think the way we
7 can do that is essentially illumination of these issues by
8 finding out what the consequences of the proposed program are
9 through performance assessment, ESSE, and similar analytical
10 exercises so that we have a basis for planning and making
11 decisions before all these funds get committed.

12 MR. FRISHMAN: Okay. And, I go that far and, as you
13 know--and, I don't want to belabor this--I think where we
14 differ is in my view of what agency's project you are over-
15 seeing. And, certainly, you're entitled to look at problems
16 the Department may be having in meeting what are considered
17 to be health and safety standards from some other agencies.
18 And, I think, yes, it's realistic and reasonable to be look-
19 ing at it from that standpoint. Where I differ is when you,
20 in your reports to the Congress and to the Secretary, start
21 discussing the business of the regulatory agency as opposed
22 to the agency that you're overseeing.

23 DR. NORTH: Bob Shaw?

24 MR. SHAW: Thank you. Although the Board doesn't have a
25 charter to necessarily look at the regulatory aspects of

1 this, it's clear that the regulatory issues are a keen and
2 important part of all this and, in particular, the EPA
3 issues. And, Steve Frishman has spoken to particularly Car-
4 bon-14 and a few other issues regarding that, too. I wanted
5 to make sure that the Board is aware of recent activities
6 with regard to the EPA and the high-level waste criteria and
7 particularly the workshops that EPRI has sponsored both in
8 September and in February, workshops designed to look in
9 detail at the issues, identify the issues, and supply tech-
10 nical input to the EPA regarding these issues. There's been
11 a widespread participation in these including the Environ-
12 mental Evaluation Group of the State of Nevada, Nye County--
13 I'm sorry, from the State of New Mexico. Nye County from
14 Nevada has sent participants, the National Resources Defense
15 Council, NRC, the ACNW, TRB representatives have been there,
16 DOE has been there--all three portions of DOE, both OCRWM and
17 the defense area and the environmental groups within DOE--and
18 GAO and OMB. And, I've really been pleased with the
19 widespread participation we've had.

20 And, one of the issues that certainly has arisen
21 there is Carbon-14 and I think it's important to understand
22 that although there are some people who attended these who
23 are very concerned about the stringency, in and of itself.
24 And, David Okrent is a very outspoken proponent of saying
25 that compared to other EPA standards, these are much more

1 stringent. Although that element is present, the widespread
2 approach that's being taken in these is to say what are the
3 crucial technical issues? And, when it comes to Carbon-14,
4 the crucial issue is that the basis upon which it was
5 developed was a wet site in which Carbon-14 would be trans-
6 ported in the liquid medium. When you look at the gaseous
7 release, the problem is not to the individual who would
8 absorb Carbon-14 as the result of the gaseous release, it's
9 the fact that the billions of people throughout the planet
10 will absorb on the order of six micro rems per year, and when
11 you multiply that by billions of people, you get more than
12 the two and a half million rems that's limited. But, the
13 health consequences when you really look at this are almost
14 insignificant. I bring that up as one example. You can look
15 at the Safe Drinking Water Act and its application to the
16 high-level waste criteria and come to somewhat similar kinds
17 of conclusions about whether it's appropriate or not. But, I
18 think those are the key issues and the right way to look at
19 it.

20 We have offered to assist EPA and, by the way, EPA
21 has been a very active participant in these workshops and I
22 think as a result of that they have now come to DOE for
23 assistance and the DOE is responding to questions that EPA
24 has raised. There is a lot of both technical and, of course,
25 political aspects in what's going on, but I think the crucial

1 issue is that there is a lot of activity and a lot of con-
2 sideration of EPA about whether the criteria are appropriate
3 at this particular time and I think it's an exciting venture.

4 Thank you, Warner.

5 MR. FRISHMAN: I'd only add that I participated for a
6 while in that same process and came to the conclusion after
7 the first large gathering that the issues were sufficiently
8 well-aired and the controversy was sufficiently well-known,
9 that it's time for EPA to go to a rulemaking. And, I wrote
10 to Bob Williams who is managing the EPRI project and told him
11 that I thought that the meeting was fine. The meeting was
12 maybe the last time we all needed to get together to wring
13 our hands over the perceived and real problems and we should
14 all encourage the Environmental Protection Agency to propose
15 a rule rather than have this ongoing essentially ex parte
16 type activity going on. I think we all know the issue well
17 enough. Let's all go on record in rulemaking and we'll find
18 out where we are, as opposed to what I believe the EPRI pro-
19 cess slowly leads to. And, I hear it from Bob and he lists
20 off everyone who participated except maybe the State of
21 Nevada. In fact, we did half the time. As once again,
22 something a little holier than the rest of the system. Well,
23 that's not the way it's supposed to work. The way it's
24 supposed to work is we talk about what the problems are, we
25 recognize them, we go on record in a rulemaking, and we leave

1 it to the agency whose jurisdiction it is to sort it out.
2 And, I think we have a proposed piece of legislation right
3 now that says to do that. And, what it says is you take all
4 of subpart (b) of 40 CFR 191 that was remanded and reinstate
5 with the exception of the two issues that the Court dealt
6 with in the remand; two issues being one of process and the
7 other of groundwater protection. And, I think we--the pro-
8 cess problem gets solved automatically by proposing a new
9 rule. Groundwater protection, I think as Bob mentioned, we
10 see that the EPA is moving in a direction and the EPA is not
11 going to answer the bigger question that's involved in that
12 about underground injection controls and that's fine, but EPA
13 can readily solve the two problems that the Court had and the
14 only reason we're arguing about C-14 relative to EPA right
15 now is because the Court remanded the entire subpart (b)
16 rather than just telling the Environmental Protection Agency
17 to fix two things. Otherwise, it wouldn't be an open issue.

18 DR. NORTH: I think at this point we're going to close
19 this section of our agenda and go on to the next section on
20 site characterization update. We're running about 25 minutes
21 behind.

22 Our next speaker is William Simecka. Do I have
23 that pronounced correctly?

24 DR. SIMECKA: That's correct.

25 DR. NORTH: Do you think you can complete your presenta-

1 tion on the order of 45 minutes or so or do we want to take
2 an early lunch? What would be your preference, to go right
3 ahead?

4 DR. SIMECKA: Depends on how many questions I get.

5 DR. NORTH: Okay. We can often give you a lot of ques-
6 tions. So, why don't we try to go through it and maybe we'll
7 hold the questions until after lunch.

8 DR. SIMECKA: All right. Well, as the director of
9 engineering at the Yucca Mountain Project, I visualize my
10 function as to being very responsive to the site charac-
11 terization program in providing the design and the construc-
12 tion of whatever facilities they need on a time scale that
13 they need it.

14 I will discuss the following topics, but I will
15 change the order a little bit to make it flow better, I
16 believe. I'm going to first discuss the ESF mission con-
17 straints, review the Title I design, review what process
18 changes we've made to the Title I, and then pick up on the
19 ESF activities during '92, plan for '93, and the planned
20 repository activities. Then, I will address the status of
21 the NWTRB recommendations as a result of your September 1991
22 meeting that relate to the ESF. And then, I will answer a
23 few questions that you informally asked me to address.

24 First, the ESF missions and constraint. Just as a
25 review, I view the ESF mission as to provide access to the

1 geological horizons to enable testing in that underground
2 laboratory which will enable in situ data to be developed or
3 generated to evaluate the barriers in the geological units.
4 And, of course, obtain information for potential repository
5 design. Contrary to some people who believe we are building
6 a repository, we are not, but it is just common sense that we
7 have to do an ACD for a repository starting this October and
8 they need inputs. So, wherever the ESF has an intersection
9 with the future or the potential repository, we must address
10 that.

11 We do have constraints that we are living with.
12 First of all, of course, we should not compromise the waste
13 isolation capability of the site. And, in those areas that
14 would become a part of the--permanently become a part of the
15 potential repository, we must design those and construct them
16 to repository standards. Of course, we must facilitate the
17 acquisition of the data that's necessary for site character-
18 ization, as well as the repository design and ESF design.
19 And, we have to limit the number of exploratory boreholes,
20 shafts, or ramps in the geological repository operation area
21 to what extent that's practicable.

22 There are physical interfaces with the repository
23 and ESF. For example, of course, the ramps, we believe
24 probably would become the potential repository main accesses.
25 The Topopah Springs drift also, and of course, the ground

1 control measure that we install in ESF, they either may
2 remain in place or they must be easily removed or maintained
3 if they're going to become a part of the permanent reposi-
4 tory.

5 A review of the Title I design. As you recall,
6 you're probably all aware of this, this is the reference
7 design that we used in Title I and does include, of course, a
8 loop down to Calico Hills as shown here. And, I won't spend
9 any time on that unless there are questions.

10 Now, the extent of the drifting in that reference
11 design is shown here. 14.4 miles, now we all know that's a
12 lot of miles of excavation. I will point out, however, that
13 we view this as an incremental type of a system, situation.
14 We may not excavate all of that. If the site characteriza-
15 tion program says we don't have to because, as Russ pointed
16 out, if because of cost effectiveness and other considera-
17 tions, we may not want or need to examine all those areas
18 that is represented by this 14.4 miles. We are using a phase
19 design approach which I'll show you later and obviously we
20 will use a phase construction approach depending on what the
21 needs of the site characterization program is or are.

22 Now, the excavations in the reference design are
23 shown here as far as the diameter. I know there is a ques-
24 tion with regard to the diameters and we do have a ramp study
25 starting in July and will be finished by the end of this

1 fiscal year to determine what are the ramp diameters. And,
2 I'll talk about those a little bit later.

3 What are the in-process design changes that have
4 occurred from Title I to Title II? A couple of things.
5 We've changed the radius of curvature in the north ramp--
6 obviously, also we'll have that in the south ramp--to about
7 1,000 feet which will enable us to eliminate the tangential
8 conveyor drifts that were in there and it will allow a more
9 workable conveyor arrangement at the north and the south
10 ramp. Also, based on the results of a review of the core
11 data, we have picked the north end of the repository on the
12 east side to be about 140 feet higher than we originally had
13 placed it which, of course, lessens the gradient to about 6.7
14 degrees in the north ramp. This will be confirmed by a
15 borehole at the place where the repository--I mean, the north
16 ramp enters the repository block.

17 ESF activities for '92, as you know, we had a
18 considerable reduction in our funding for ESF this year and
19 we are doing a limited first access site preparation package.
20 It's going on right now. That design package, we call 1A.
21 I'll show you what's in that in a moment. Also, this year,
22 we are developing the key plans, such as operation, mainten-
23 ance, and construction management plans and determining the
24 seismic design criteria for ESF permanent potential reposi-
25 tory structures. They said those things that might become a

1 permanent part of the repository, we do have to design those
2 to the seismic standard for a repository.

3 We have divided the design effort into 10 packages.
4 It is a design we call the phased design approach. Dr.
5 Bartlett views this as sort of an evolutionary thing. When
6 we accomplish certain portions of the design and the
7 construction, if we find out that the site characterization
8 program should change as a result of what we've found out in
9 that particular phase, we may decide to do something
10 differently in the next phase. But, it's-- our job in the
11 design is to have these packages available for that
12 construction strategy change. In your book, I've provided an
13 ESF arrangement just to show you which are those packages,
14 those design packages.

15 Now, I mentioned earlier that we split the first
16 design package into two, Package A and B and the one that's
17 being designed right now is the site prep package at the
18 north portal. And, Package B will include the surface facil-
19 ities. I'll show you what's in that one. We're not design-
20 ing any buildings in that one at this juncture. 1A includes
21 these: portal access road, pad, ramp highwall including the
22 TBM launching chamber, all pad, electrical and water systems.

23 For '93, the ESF activities are these. We will
24 continue the Title II design and we'll also begin some con-
25 struction. The Title II design, we'll design the first

1 access buildings and surface facilities. That is that 1B
2 package. We'll initiate the Title II design for the second
3 access which will be the south. We'll also initiate Title II
4 for first access ramp. That is your Package 2 in your list.
5 We will start those facilities that we have designed, the
6 construction of those facilities that we have designed in
7 Package 1A and maybe some for 1B. And, of course, perform
8 the site prep and the highwall blasting at the north portal.

9 The planned repository activities are shown here
10 for '92. We call them pre-ACD studies. We will be doing the
11 ramp sizing study, waste emplacement mode study, as well as
12 the repository horizon/gradient study.

13 DR. NORTH: I think those are studies we'd like to find
14 out more about both in terms of their content and in terms of
15 their timing. Will that be covered by others later?

16 DR. SIMECKA: I'll cover the ramp study, sizing study,
17 but I hadn't intended to go over the waste emplacement mode
18 or the repository horizon--well, the repository horizon/
19 gradient study is--part of that is being done right now.

20 Excuse me?

21 DR. NORTH: I think given this is an exploratory facil-
22 ity and given the many questions and concerns the Board has
23 raised about engineered barriers, more robust container, we'd
24 be very interested in finding out what the waste emplacement
25 mode study entails, as well as the ramp sizing study, to see

1 to what extent some of our concerns in that area are being
2 addressed. I mean, as one example, if you're going to use a
3 large cask, you might want to use a rail system to get it
4 down there and that would mean grades of less than 1 or 2%.

5 DR. SIMECKA: That's correct.

6 DR. NORTH: As I understand it, you've assumed rubber
7 tire vehicles. So--

8 DR. SIMECKA: Not necessarily. That's still open for
9 question.

10 DR. NORTH: The point I'd like to raise for you is there
11 are a lot of details like that where we'd be interested in
12 knowing more about what studies you are doing and which
13 details are getting examined, and therefore, what we might
14 expect to hear from you in late fiscal year '92 before com-
15 mitments are made with respect to ESF plans.

16 DR. SIMECKA: Okay. I'd be glad to do that. I think
17 some of your questions may be answered when I talk about the
18 ramp study.

19 You talked about some of your recommendations as a
20 result of the September 1991 meeting. As far as ESF is
21 concerned, we felt your recommendations could be divided in
22 two aspects; ramp sizing and access to geological features.
23 You requested that we look at smaller diameter tunnels; that
24 is in the 16 to 20 foot size category with the idea that you
25 would subsequently enlarge them if you needed to for the

1 repository. And, we are doing this study--I'll cover that a
2 little bit more. RSN is the lead participant with support
3 from the M&O and they're doing that the latter part of this
4 summer.

5 The second thing is you said that you were con-
6 cerned about providing early access to important geological
7 features including Calico Hills unit and the Ghost Dance
8 Fault. We are considering a development sequence and con-
9 struction sequence that will provide a balance between our
10 desire to get early access to MTL, as well as the Calico
11 Hills.

12 Now, the four TBMs I show here is based on trying
13 to meet the 2001 and those will not be procured in a lump
14 sum. I mean all at once. Our procurement process will allow
15 us to choose which is the best way to do it. We may buy a
16 hole in the ground which means that we may not develop--buy
17 all of the--or the constructor may not buy all of the TBMs,
18 at all; may do fewer. But, this is our baseline and that's
19 what I've got in here.

20 Now, the development sequence is that the excava-
21 tion in the north ramp would proceed to the Topopah Springs
22 level, past MTL location, and through the Ghost Dance Fault,
23 and can do that in approximately 21 weeks after the TBM
24 cranks up at the north portal. And, the south ramp would be
25 excavated just beyond Calico Hills' turnout and then start

1 down to Calico Hills as soon as possible. Then, after you
2 start the Calico Hills' ramp, then the other TBM will con-
3 tinue on to the through-point at the Topopah Springs level.

4 One other question, you asked about the potential
5 impact of thermal loading on the ESF design. Sandia Labora-
6 tories has recently completed a preliminary far-field thermal
7 mechanical analysis of the ESF drifts that would be part of
8 the potential repository. They're currently preparing that
9 report. We just got preliminary data and the AE. We'll use
10 the results of this study during the design of the subsurface
11 openings scheduled for '93 and '94.

12 Now, you have in your document there two results
13 there. I won't go over them in any detail, but basically
14 these show that the change in the normal stress that you
15 would find in the north ramp main access and the east-west
16 exploratory drift is a very small percentage of the total
17 ultimate strength of the rock. So, we don't think there
18 would be any problem associated with that. Now, the emplace-
19 ment drifts, it could be a different story, but this is all
20 we've done, so far.

21 You asked about the design transition from RSN to
22 the M&O. The M&O has developed a transition plan to take
23 over the design from RSN for the ESF starting 1 October and
24 this is just the things that they are now doing to get ready
25 for that.

1 The other question had to do with our procurement
2 plans for the subcontractor that would be working for REECo
3 who is the constructor. That the REECo, because they have
4 lost a lot of their TBM experienced people, has decided that
5 the subcontractor, that is the best that they could find for
6 ESF construction, is the one we ought to have and so that's
7 the purpose of the RFP that has gone out this last Monday.
8 The contractor will report to REECo who is the constructor.
9 We've put options in there of Government furnished equipment,
10 subcontractor procured equipment, or subcontractor furnished
11 equipment, and RFP does not preclude any one of these
12 options. So, the decision on whether we go with a hole in
13 the ground or GFE equipment is yet to be made.

14 You also asked about the role of Morrison-Knudsen.
15 They will be the subsurface designer as of 1 October for
16 ESF. They also will be providing construction management
17 support to the DOE in managing all the field construction
18 activities. And, of course, they are slated to be the
19 repository subsurface designer.

20 You also asked about the Colorado School of Mines.
21 Well, you know Colorado School of Mines has been working
22 with us for some time. They are the leading experts in
23 mechanical excavation equipment and so they've been doing a
24 number of things for us. They've developed a set of
25 preliminary specifications for the TBM which if it went out

1 for procurement, we would use these. If it went out--if we
2 decided to go to the hole in the ground, then we could
3 provide these as information. But, we thought we ought to
4 develop those specifications. They are determining the
5 physical properties of welded tuff and predicting mechanical
6 excavation performance with their laboratory tests. And, of
7 course, they also are helping the surface-based testing
8 program in laboratory testing of coring and reaming bits of
9 various designs.

10 And, that ends my discussion. You asked about the
11 ramp sizing. The aspects of ramp sizing are that we must
12 consider in my view are, of course, the ventilation and
13 safety aspects of both the ESF and the repository. And, that
14 may dictate what size the ramp should be, as well as the TBM.
15 Also, there's cost effectiveness considerations of how much
16 it costs to enlarge the ramps and what equipment would do
17 that, mechanical excavation equipment would do that, and that
18 will incur some extra costs. Also, the ground support that's
19 already in there for the ESF, we've got to make sure that we
20 assess the cost of pulling that ground support out if we have
21 to enlarge, if that's necessary. So, all those factors are
22 being incorporated in this ramp sizing study that's going on.

23 And, I don't know if that answers all your ques-
24 tions, but those are a few of the things that I think will
25 dictate the decision on ramp size.

1 DR. NORTH: Thank you. It looks as if we do have time
2 for questions before lunch.

3 Dr. Deere?

4 DR. DEERE: One question I have. Where your north ramp
5 is scheduled to cross the Ghost Dance Fault in a relatively
6 short time after you've started, isn't that in an area where
7 the fault has had very limited displacement?

8 DR. SIMECKA: I'm afraid I can't answer that question.
9 Can anybody help me on it? Yes?

10 MR. DUDLEY: I'm Bill Dudley of the USGS. Yes, at the
11 north ramp location, there's displacement of--I'm not abso-
12 lutely sure--I'd say on the order of perhaps 10 meters and
13 that displacement does increase to the south. So that at
14 that first location there would be very limited displacement.

15 DR. DEERE: Then, I have a follow-on question. What
16 formation would that be in or which horizon where you would
17 make the crossing of the Ghost Dance Fault?

18 DR. SIMECKA: Topopah Springs, TSW₂. Isn't that cor-
19 rect? It's the drift that's doing it, main drift. It's the
20 main drift of ESF.

21 DR. DEERE: Okay. Because we had once talked about the
22 advisability of crossing it at a higher elevation.

23 DR. SIMECKA: I understand.

24 DR. DEERE: And, were looking perhaps at a cross drift
25 or some manner to get into that area, as well. We felt

1 strongly that we really had to see the Ghost Dance Fault in
2 about three different positions.

3 DR. SIMECKA: Well, that could be done off of the north
4 ramp or the--

5 DR. DEERE: There certainly was a possibility of it,
6 Bill.

7 DR. SIMECKA: Yeah. We--

8 DR. DEERE: North ramp, a shallow shaft, a raise, and
9 then maybe something.

10 DR. SIMECKA: I'm not aware. That hasn't been looked at
11 and decided upon at this juncture. So, that's something for
12 us to look at.

13 DR. NORTH: Dr. Cording?

14 DR. CORDING: There's a study we had received, I think
15 it was September meeting, regarding alternatives for TBM use,
16 different TBMs, different TBMs, different sequences. It was
17 a very preliminary sort of study and it didn't involve a lot
18 of detailed cost information. But, that did at least begin
19 to look at some of the alternatives for scheduling and moving
20 TBMS, the number of TBMs, through the system. Has there been
21 more work done in this area? The last we had was the four
22 TBM concept. It seems that that is still basically the same
23 as we received from our September briefing. Is there further
24 work being done on looking at alternatives for sequencing and
25 costing for the schedule, of course, for the TBMs?

1 DR. SIMECKA: That particular one assumed--I mean, I
2 should say the baseline assumes four TBM and that's due to
3 speeding up the process to meet the 2001. So, we're still at
4 this juncture planning on using four TBMs. However, if the
5 site characterization program dictated that we do this in an
6 incremental way and we are relieved of the 2001 or our
7 strategy would be that that was not critical, we could do it
8 with a fewer number of TBMs. And, the way we would sequence
9 that would depend on the site characterization program and,
10 of course, be limited by available funds. But, that has not
11 been--the four TBMs is just our baseline, but depending on
12 the planning that's going on for the 2001 and whether we get
13 approval for that sort of a funding profile, we will change
14 those.

15 DR. CORDING: It seems to me that this is something that
16 regardless of the funding profile needs to be looked at and
17 it needs to have flexibility built into it so it can handle
18 different funding possibilities that are certain to arise.

19 DR. SIMECKA: That's right.

20 DR. CORDING: That the four TBMs and other equipment
21 like mobile miners and all operating for this length of
22 project is a large number of machines.

23 DR. SIMECKA: They sure are.

24 DR. CORDING: There's a lot of startup. There's a
25 machine that goes down and has to stop and then wait for a

1 side drift to be excavated. There's these sorts of inter-
2 faces that slow the process, and once a machine is mobilized
3 and is efficiently operating, it's going to make a lot more
4 distance and progress than you can make even with two
5 machines in some cases. I mean, if you can get one machine
6 going as early as possible and get it through the facility,
7 it can do much more than trying to mobilize and demobilize
8 machines and operate with more. So, that there's a real
9 benefit here to being able to get one machine going and not
10 be in a situation where you're trying to put all of the
11 machines in in a short period of time and get the work accom-
12 plished in a very short period of time. And, it seems to me
13 that some of the sequencing, whether it's four machines,
14 three or whatever number, that some of the sequencing needs
15 to be looked at with a good cost schedule estimate and look-
16 ing at some alternatives. Right now, regardless of what we
17 think the present cost schedule is in regard to--or regard-
18 less of what we think the funding is at present, we need to
19 go forward, I think, with some alternatives on this and look-
20 ing at what really is most efficient.

21 DR. SIMECKA: Maybe I misrepresented it, but we don't
22 intend to buy all four of those. We wait until we get the
23 money to buy all four. As soon as we've got adequate funds,
24 we will buy one. If we've got adequate funds to buy two,
25 we'll buy two, and so on. So, our intention is to get a TBM

1 on as soon as possible, as soon as we can get the money to do
2 that. We haven't had the money this year, of course, because
3 we got cut severely. Next year, we can develop everything to
4 get ready to buy the TBMs by getting the specs and getting
5 the subcontractor on board and et cetera. So, as a matter of
6 practicality, we will be sequentially buying either the
7 capability or buying the machines in a sequential fashion.

8 DR. CORDING: I guess part of the point is that we need
9 to look at alternatives to the four machine concept and the
10 sequence that's laid out in the base plan. Whether one is
11 only doing it incrementally or not, I think there's some
12 alternatives there that need to be investigated and looked at
13 and that ties into size also.

14 DR. SIMECKA: No, I understand.

15 DR. CORDING: For example, being able to run the same
16 size machine from the surface through the Calico Hills is a
17 possibility when one looks at the sizing. So, that would
18 change the way you organize the TBM setup.

19 DR. SIMECKA: Absolutely. We are doing that on a
20 continuing basis. We have not decided on 25' or 18'. We
21 haven't done that yet. So, you are absolutely right. We
22 intend to do that because we do have to remain flexible,
23 based on what the site characterization program demands. So,
24 we will do that.

25 DR. DEERE: Don Deere. As a participant just a week ago

1 at the hearing of the committee on Energy and Natural
2 Resources of the Senate, I think the point was made that we
3 certainly have to maintain flexibility. Whether or not the
4 funding will be available is always a question and they
5 certainly put a question to what could be made available.

6 I think Dr. Cording's point that your goal of four
7 with the idea that we will do one and then we'll do a second
8 one and a third one and four when we can, maybe should be
9 looked at. If we are going to have to have reduced funding,
10 then we realistically have to look at a longer schedule.

11 DR. SIMECKA: Absolutely. Absolutely.

12 DR. DEERE: Once we start looking at that, they you say,
13 well my goal isn't four, my goal is only a total of three or
14 maybe two.

15 DR. SIMECKA: Absolutely. No, I agree with 100 percent
16 because there is no sense of buying those machines if they
17 are not necessary. So, we will buy whatever is absolutely
18 necessary to meet our schedule. We have to remain flexible
19 as long as we don't know what the future budget is. So, you
20 are absolutely right.

21 MR. GERTZ: I just wanted to reiterate that. You and I
22 have talked and I have seen one of your earlier reports and I
23 concur with most of your thoughts.

24 I think when we bring on our contractor, our
25 excavation contractor, part of the contract certainly is for

1 technical support and I am sure he will be providing us some
2 very important input along with M-K as our construction
3 manager to devise some of these alternatives. That will be
4 occurring just after the first of the fiscal year, in
5 October.

6 So, I think the combination of M-K helping us as
7 our construction manager, bringing on our underground
8 excavator with technical support early on, we are not just
9 buying equipment, we are buying some big thinking, we hope
10 too, and some input with this RFP and then we can start
11 developing. We can say, gee, if we get so much money, what
12 is the best way to do it? With one machine? Two machines?
13 Three machines? Four machines? Things along those lines.

14 We are just not at this point in time putting a lot
15 of effort in it for various reasons.

16 DR. CORDING: Carl, would your plan be to have the
17 construction contractor select the machines and purchase the
18 machines themselves?

19 MR. GERTZ: We have provided that option in the RFP
20 right now that he can use existing machines that he may have.
21 He may propose to buy new machines. He may propose that
22 they be government furnished machines and he would take them
23 over and operate them or any other permutations. We are
24 looking for his expertise. One as far as the RFP, and two
25 when he comes on board as what he thinks as we hope is the

1 world's top underground tunnel contractor what he can bring
2 to the party, so to speak. All those are options and I don't
3 know what is the best one right now.

4 DR. CORDING: The basis for selection of the
5 construction contractor, what is that? How will you go about
6 making the decision as to which proposer is selected?

7 MR. GERTZ: We don't have anyone from REECo right now,
8 but it is a standard RFP. It has a list of criteria in it.
9 I think it talks about capability and experience. I don't
10 think cost is a very heavy factor in it all, because we look
11 at it to be a cost type reimbursable contract because of the
12 uncertainties and scientific aspects of the excavation. I
13 think we are just looking for technical qualifications.

14 DR. SIMECKA: It's a two phased where the first phase is
15 the technical qualifications of the offerors and those that
16 make the qualification cut will then be asked to give a
17 price. They will price out the tasks that have been outlined
18 in the RFP. We can't talk about it, even if I knew I
19 couldn't talk about it, because the RFP is on the street.

20 MR. GERTZ: Ed, we will get you a copy of the RFP and we
21 would appreciate any comments you might have on it.

22 DR. CORDING: In other words, there will be a technical
23 proposal and an evaluation.

24 MR. GERTZ: Yes, sir.

25 DR. CORDING: And then there will be cost evaluation.

1 MR. GERTZ: I don't have the details right in front of
2 me, but we will get Federal Expressed a copy of the RFP and
3 any comments you might have on it we would sure appreciate
4 it. While we simultaneously released it to the offerors, we
5 are also reviewing it in different aspects of the project.
6 So, as things change, we will probably have an amendment to
7 the RFP.

8 DR. DOMENICO: When you are not sure how much money you
9 have, if you have to purchase your own machines at about \$10
10 million each, I am hearing, isn't it kind of difficult for
11 someone to respond to an RFP, unless the cost is based just
12 on the 14 miles and how much it is going to cost to do it and
13 do it anyway you want. Is that how it is arranged?

14 DR. SIMECKA: Well, as far as costs they will have to
15 respond to proposed tasks and how much would it cost to do
16 those tasks. We are not saying that we are going to do those
17 tasks in the way that they are stated. But, they are used as
18 a screening criteria to select the best one. But, they will
19 have to respond to what the assumed tasks are.

20 MR. GERTZ: Pat, it is not like a fixed price contract.
21 What we are using those costs for is to help evaluate the
22 capability of those contractors, not to hold them to those
23 costs because we may not have \$10 million available to buy a
24 machine or something like that. So, we are looking for his
25 ideas as how we can excavate.

1 DR. DOMENICO: Do you have an idea of what your
2 anticipated total costs would be?

3 DR. SIMECKA: For that sub-contractor?

4 DR. DOMENICO: For that RFP, yes.

5 MR. GERTZ: I think it is quoted in the area of \$100
6 million, approximately.

7 DR. DOMENICO: Approximately.

8 DR. LUCE: Luce, with the TRB staff. I just have a
9 small question and that is in the evaluation for the tunnel
10 diameter design, is it being considered that these canisters
11 may be totally horizontally emplaced and lodged there?

12 DR. SIMECKA: The canister total weight, size and so
13 forth will be looked at of course. What we have to do is
14 make sure the access ramps are large enough for the waste
15 transporter with its cargo to be able to go through those
16 openings. And yes, that is being considered. As far as the
17 large canister is concerned, we hope to look at that too, and
18 see whether that puts a limitation on it. So, yes, the
19 answer is we are looking at all of those. There is
20 horizontal emplacement, vertical emplacement and drift
21 emplacement all have to be looked at.

22 DR. CORDING: Will you be looking at the possibility of
23 changing ramp slopes? For example, if one were to be using
24 rail transporters going to flat enough grade to handle rail,
25 it also has some benefits for construction of the tunnel and

1 TBM operation?

2 DR. SIMECKA: We are looking at rail versus rubber tire.
3 I understand that one of the foreign countries has a rail
4 transport that is able to negotiate much steeper gradients by
5 having some kind of a center rail that grips. So, if rail
6 turns out to be the preferred one, why surely we can use it.

7 DR. CORDING: Would the cog railway sort of approach be
8 for that steeper gradient?

9 DR. SIMECKA: As I say, the technology has been proven
10 that they can do that. If we choose to use rail, then the
11 gradient, we might be able to navigate is much larger than
12 what is now considered the rule of thumb.

13 Does that answer your question? We are looking at
14 both.

15 DR. CORDING: Well, I think it does. I think there are
16 two things. One is most of the rail systems are designed for
17 the flat gradient.

18 DR. SIMECKA: That's correct.

19 DR. CORDING: The first point was, can we look at that
20 as a possibility. The other point would be then to say, well
21 if looking at the possibility of going to steeper gradients
22 with a different system, but it would seem to me that looking
23 at the flat gradient with the standard rail might be a good
24 thing to look at for both ramps.

25 DR. SIMECKA: The south one is much lower, of course,

1 less than two degrees.

2 DR. CORDING: I know that the south ramp is already rail
3 capable.

4 DR. SIMECKA: That's correct.

5 MR. GERTZ: Eventually we are going to have one ramp to
6 emplace waste and the other ramp to take out rock. They are
7 both not going to be used for waste. So, certainly under
8 some schemes the repository with a 6 percent ramp and a 1
9 percent ramp would be a very operational repository.

10 DR. CORDING: Presently, is the south ramp, I'm trying
11 to recall, is that the waste ramp?

12 MR. GERTZ: Right now, in our reference case the south
13 ramp is for taking tuff out, not for putting waste in.

14 DR. SIMECKA: But that can be changed.

15 MR. GERTZ: That can be changed. That is not an
16 irrevocable decision at all. That is our current case. We
17 are contemplating and thinking is there an option to make the
18 south ramp emplacement.

19 DR. NORTH: Carl, they may have problems if you are not
20 at the microphone.

21 DR. SIMECKA: I thought he was going to make a speech.

22 MR. BULLOCK: Dick Bullock from RSN. Even with the 140
23 feet raise in elevation, even the emplacement drifts could be
24 in the range of 4.5 percent. So we are getting closer all
25 the time. I think Climax runs trains at 3.5 percent now with

1 very heavy loads. So, you are almost there. Thank you.

2 DR. NORTH: Further questions?

3 (No audible response.)

4 DR. NORTH: We are about a few minutes into our
5 designated lunch hour, but not many. It is always amazing to
6 me when we come out close to on schedule at the end of a busy
7 morning like this. Why don't we see if we can resume about
8 1:20 p.m.

9 (Whereupon, a lunch recess was had off the record.)

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1

2

3

A F T E R N O O N S E S S I O N

4

(1:20 p.m.)

5 DR. NORTH: Let us resume for the afternoon session,
6 with Dr. Russell Dyer on Surface-Based Testing Drilling
7 Program Review.

8 DR. DYER: What we have in mind for the next hours is a
9 rather ambitious presentation on the part of Uel Clanton and
10 myself. This will be a tag team presentation looking at the
11 scope of the surface-based testing programs, specifically the
12 drilling program.

13 We have broken it down into two components, one of which
14 is the programmatic planning phase and the second is the
15 technical part of the program. Now, I am going to fast
16 forward here to a graphic in Uel's talk which is the combined
17 drilling schedule. For those of you using the handouts, this
18 is the next to the last graphic in Uel's presentation. And,
19 I regret to say on this scale, it is virtually unreadable.
20 There is a copy, a wall copy, on the board in the back and
21 for the board members, in the back of Volume I, and it is
22 supposed to be in Volume II, but it is in Volume I, in the
23 very back is an 11" x 17" color-coded copy of the drilling
24 schedule.

25 What I would like to walk you through in my part of

1 the presentation is what each of these little bars mean, why
2 we are doing them and where they are, both as a part of the
3 program and also as a specific location in space and time.

4 Dwight Hoxie and Bill Dudley mentioned yesterday or
5 alluded to the fact that the drilling program essentially has
6 two components to it, one of which is a feature-based program
7 which is looking at specific features trying to understand
8 specific faults, for instance specific zones of interest.
9 And the second part of the program is more a statistical part
10 of the program. This was identified in the PA presentations
11 both yesterday and this morning, as being needed to acquire
12 the statistical information required for input to a
13 performance assessment. What I am going to go through as I
14 walk through the drilling program, is what parts of the
15 program feed different parts of either the systematic program
16 or the feature-based program.

17 Uel will kill me if I don't say this, and I also
18 learned this word with Abe this morning is caveats. What you
19 see before you is a snapshot in time. This is a planning
20 basis. I have virtually no confidence that we are going to
21 have this same drilling schedule in about three months. This
22 is based on assumptions about funding levels; it is based on
23 assumptions about test prioritization. As the program
24 matures we continually update this particular drilling
25 schedule that you see. So, what you see is a snapshot at

1 this point in time.

2 What I would like to show here is a take-off on a
3 slide that Carl often uses, which is a listing of the number
4 of boreholes involved in the surfaced-based program. What we
5 are going to concentrate on is these top two categories.
6 These are slightly different numbers than you may have seen
7 from Carl before. We went back and recounted and you'll see
8 the difference and the reason for the difference in a little
9 while.

10 The point I would like to make is like Paul Harvey
11 says, this is not the whole story. The rest of the story is
12 out here in the last two columns, which is that a significant
13 number or a significant part of this program, of these total
14 numbers of drillholes is already in place. And what we are
15 looking at for the rest of the surface-based program is what
16 is out here in the planned column. And the numbers look
17 pretty overwhelming, 267 shallow drillholes less than a
18 thousand feet. That seems like an enormous number until you
19 realize that about 200 of these are essentially postholes,
20 that are three to five foot deep dug with a posthole digger,
21 yet we count them in the drilling program. The ones
22 that I am going to concentrate on mostly are things that we
23 would call deep drillholes, that is greater than a thousand
24 feet.

25 This didn't reproduce all that well, but what the

1 intent of this graphic was, is to indicate the total scope of
2 the surface-based primarily drilling program. And what we
3 have here is the outline, the conceptual perimeter drift
4 boundary. We have taken topography off. There seemed to be
5 enough confusing markers on there to start out with. This is
6 the outline of the conceptual perimeter drift boundary. This
7 would be the north ramp, the main ESF test level south ramp
8 of the exploratory studies facility. This is what we call
9 the boundary of the controlled area here. Things annotated
10 in the dark filled in taco chips are the existing boreholes
11 within the program. Things that are not filled in, that is
12 the open upside down deltas, are the planned drillholes.

13 Of course, the objective of this program is not to
14 drill a certain number of drillholes. The objective is to
15 answer some specific questions. The drillholes give us
16 access down, allow us to field test, which allow us to answer
17 those questions.

18 Within this total suite of boreholes here, and
19 perhaps if you use this as a key to try to interpret what is
20 on the drilling schedule that you have, you'll see that there
21 are holes that are coated with various prefixes. Some of the
22 prefixes may be UZ, N, G, SD. This slide gives you
23 essentially the decoder ring to interpret what each of those
24 prefixes mean and gives you an idea of the magnitude of the
25 program associated with each of those particular activities.

1 Let me take the neutron holes for instance,
2 unsaturated zone, infiltration studies of Alan Flint. Those
3 are prefixed with an N. Those are completed through a dry
4 drilling process. They are relatively shallow holes. The
5 name of the activity that they support, that is the actual
6 scientific test is looking at the natural infiltration. The
7 transfer function between precipitation at the surface and
8 flux through the mountain in the near surface. There are 30
9 holes planned in that particular activity. Depth range is on
10 the order of 60 to 300 feet. These are relatively shallow
11 near surface studies.

12 The study plan that controls this particular
13 scientific investigation is given in the right column, and
14 this indicates the status of the study plan. NRC means that
15 this is a study plan that has been through the DOE review and
16 approval process. It has been sent to the NRC. In some
17 cases, the NRC has not gone through the complete review
18 cycle, but in all cases that NRC is listed, these have gone
19 through all the DOE approval process. So, these study plans
20 are still in preparation at various places within the
21 project.

22 The last column out here indicates the participant
23 responsible for the scientific investigations that take place
24 in these boreholes.

25 The next column down would be the unsaturated zone

1 holes. As you can see, there is a smaller number of these
2 holes, only 16 of them, yet these are relatively deep. They
3 are 1,700 to 2,700 feet deep. And these also are dry
4 drilled. These would be drilled with the LM-300 or similar
5 technology which Uel will tell you much more about shortly.

6 Geologic drillholes, a check means that all the
7 holes need to be drilled with a dry drilling technique. I
8 have one category of holes, the G holes, where there are some
9 that are scheduled to be drilled with dry drilling, some that
10 don't need dry drilling and we can drill those with
11 conditional wet technology if needed. So that is what the
12 anomalous symbol here means.

13 The statistical drillholes, just statistical
14 drillholes again a suite of deep holes dry drilled about 12
15 of them, again 1,800 to 2,500 feet deep.

16 Now what I would like to do is to walk through in
17 some detail a sampling of various parts of the drilling and
18 testing program. The two things I would like to concentrate
19 on is the geographic distribution of individual drillholes
20 associated with a particular part of the program. And also
21 to give you some information in tabular format which you
22 could use as a reference base, essentially which explains for
23 each part of the program what the objective of the program
24 is, what information needs are satisfied by this particular
25 part of the surface-based program, what related analyses or

1 tests are done in this suite of boreholes. How many
2 boreholes that we have as part of the program, and we have
3 both the planned and the existing boreholes and a snapshot, a
4 simplified version, if you will of the drilling schedule
5 associated with this part of the program. This schedule
6 should be consistent with what you see on the master schedule
7 in your handouts for the board or in your unreadable printout
8 for the members of the audience.

9 The first one I would like to take you through is
10 one that is active right now, we have been actively drilling
11 the neutron holes since last fall. We had, as I said, 30
12 boreholes planned for new boreholes. We completed seven of
13 them. We may be up to eight now. The holes that we are
14 sinking right now take about two days to drill and it seems
15 like I am always one or two holes behind when I am giving
16 talks because it only takes about two or three days to drill
17 a hole, skid the rig and drill the next hole.

18 This is the drilling schedule that we are looking
19 at right now for the remainder of '93. I would point out
20 that there are 76 existing holes already as part of this
21 program, there will be the sum total of about 106.

22 As I mentioned earlier, this part of the program,
23 the emphasis of this part of the program is to try to
24 understand the physical mechanisms by which precipitation
25 would go from the ground surface or the surface of the rock,

1 transfer down through a near-surface environment down into a
2 deeper part of Yucca Mountain, to understand this transfer
3 function, if you will.

4 These are some of the other related analyses or
5 tests associated with natural infiltration. Tritium
6 profiling, Alan also is doing that. The water budget
7 studies, looking at essentially trying to understand a mass
8 balance if we can for how much water comes in, how much water
9 goes out and where is it partitioned within the system.

10 This is the geographic distribution. The key to
11 these particular graphics, again we are showing conceptual
12 perimeter drift boundary. This is the road that if you
13 remember from your visits out to the site, this would be
14 Forty Mile Wash running right along through here. This is
15 where the road dips down in Forty Mile Wash and crosses--I'm
16 sorry, this is not Forty Mile Wash. Yes, this is Forty Mile
17 Wash. I'm sorry. Coming up to, let's see, this would be
18 Exile Hill in this area right here, road along Exile Hill.

19 The sub-dock where we store equipment is located
20 right about here. This was the ESF-1, ESF-2 shaft locations
21 up here. Whenever you take the road up to the crest of Yucca
22 Mountain, just to set you in physical space here, you follow
23 this road and our general stop is up here at the south end of
24 the conceptual perimeter drift boundary in here. The little
25 markers with no symbol on them, no annotation next to them,

1 are existing boreholes. The ones that have an annotation
2 next to them, N36, N37, are the ones that are planned in the
3 current phase of the program. The ones that we have
4 completed to date are N54, N55, down in here and N11, 15, 16
5 and 17 up in here, N37 here. I think that is all of them.
6 So you get some idea of what the rest of the program for this
7 physical year consists of.

8 And this is the format that I am going to follow
9 for the rest of the presentation. I am not going to try to
10 go through everything, but what I want to do is hit some of
11 the highlights.

12 Dr. Domenico.

13 DR. DOMENICO: Russ, that is the extent of drilling the
14 repository block that we are seeing right there?

15 DR. DYER: No.

16 DR. DOMENICO: No? You have got more planned?

17 DR. DYER: This is only for the neutron holes.

18 DR. DOMENICO: Neutron holes.

19 DR. DYER: These are for the shallow neutron holes. The
20 deepest of these holes is around 300 feet.

21 DR. DOMENICO: Are you going to run into or have you run
22 into any difficulty with NRC in drilling the block itself?

23 DR. DYER: Well, as we mentioned earlier whenever the
24 question came up about the association between performance
25 assessment and the surface-based testing program. Every one

1 of the holes that we field, we do an impact analysis on to
2 look at the potential impacts of that particular hole on the
3 waste isolation characteristics of the repository block.

4 DR. CORDING: Russ, just a quick question. Could you
5 summarize, perhaps as you go, the type of equipment and
6 whether you are coring on these holes?

7 DR. DYER: Okay. For the neutron holes we are using and
8 Uel will tell you more about this. This shows an ODEX type
9 system, with dual wall circulation, dry drilled, continuous
10 cored. I think we are getting core recovery rates of 95
11 percent or so. It depends on the hole.

12 The next part of the program I would like to talk
13 about is the deep unsaturated zone program which is getting a
14 lot of attention right now. UZ-16 is our first deep, dry
15 drilled borehole. This will be drilled with the LM-300. UZ-
16 16 is located to the south and east of the conceptual
17 perimeter drift boundary in this area right here. This shows
18 the lateral extent, the geographic extent of the unsaturated
19 zone drilling program. I put the trace of the north and
20 south ramps of the main test level of ESF on here, just to
21 give you some idea of what kind of volume of rock we are
22 sampling both with ESF and with the drilling program.

23 The specific information about the UZ program, UZ-
24 16 is also a multi-purpose hole, I guess I would say. It is
25 continuous cored, so we will have a complete suite of dry

1 drilled samples available through the sample management
2 facility for all investigators. There is a series of
3 information needs that are going to be at least partially
4 satisfied through UZ-16 and the other parts of the UZ
5 program, including the in situ moisture condition close to
6 the conceptual perimeter drift boundary. We have a few UZ
7 holes within the conceptual perimeter drift boundary, but
8 most of them are located outside of the drift boundary.

9 The hydrologic properties, moisture conditions in
10 the unsaturated zone and of course the advantage of a
11 borehole here is that you are sampling the third dimension.
12 ESF is going to do a very good job of sampling on a
13 particular stratigraphic horizon. But, in order to get the
14 three dimensional information, we are going need some
15 boreholes in the vicinity of the conceptual perimeter drift.

16 Let's see, we have got 16 holes planned for this
17 program. There are no existing holes because this is a new
18 technology that we brought on line, the deep dry drilling
19 technology which we will talk about is new. As I said, the
20 first borehole UZ-16 we intend to spud later this month. We
21 are looking at around the 25th or so, I think. The 25th or
22 the 27th for initiated drilling. That is going to be about a
23 1,600 feet deep hole. I believe it bottoms in the Calico
24 Hills.

25 Let me point out one other thing here while I have

1 this up. There are some parts of the UZ program, namely the
2 9 series, hole 9, 9a and 9b that are specifically designed to
3 look at--it is a multi-well test package to look at gaseous
4 inter-connectivity between the wells. So that is going to be
5 a follow on series of tests in this series of wells, the 9
6 series, which is using one of the UZ holes, or a suite of the
7 UZ holes.

8 Geologic holes. These are the G holes. Again
9 these are relatively deep holes. They may be dry drilled,
10 they may be conventionally wet drilled. The primary purpose
11 of these is to determine vertical lateral variability within
12 holes, the stratigraphic horizon. There are 15 existing
13 holes, G holes. There are only four new holes planned. This
14 is the current drilling schedule. If you look again at the
15 conceptual perimeter drift boundary, the planned holes are G-
16 5, which we talked about a little earlier as being targeted
17 perhaps to be a very deep hole tagging the Paleozoic in the
18 vicinity of the large hydraulic gradient to the north. G-6,
19 which would be over in the vicinity of the north and west of
20 the potential repository. G-7, located down to the south in
21 this area. And, a fourth hole G-8, which we have not
22 established a firm location for, yet.

23 The systematic drilling program, geostatistical
24 drillholes, what is annotated or prefixed with SD on the
25 drilling schedule is that suite of holes that are

1 specifically designed to provide statistical information to
2 support performance assessments. So, rather than depending
3 explicitly on feature-based drilling and if you are drilling
4 something that is an obvious feature, there is something a
5 little different about it to start out with, what you want to
6 understand is what the average properties of the particular
7 medium may be. So, this is a series of programs that is
8 based on statistical sampling of the three dimensional volume
9 within the conceptual perimeter drift boundary.

10 There is also a series of holes that have a much
11 smaller spacing, which is to examine whether or not this
12 spacing provides you representativeness that would also be
13 observed at smaller scale. So, this is a test that as to the
14 adequacy of the larger scale sampling.

15 There is a total of 12 holes scheduled within the
16 systematic drilling program. Here is information about it.
17 Again, this is all continuous cored, dry drilled, relatively
18 deep holes and here is the schedule. I believe this is about
19 the last hole in the drilling program in October of 1997,
20 based on the schedule that you see on the board in the back.

21 This program also provides information in support
22 of design. And in support of ESF design, of course we need
23 some essentially exploratory boreholes, if you will, to
24 provide information about rock properties in advance of
25 placing the ramps in place. And here is the conceptual

1 perimeter drift boundary again, the south and the north ramp
2 access. And a suite of boreholes whose primary mission in
3 life is to provide design information for these excavators,
4 here, for the ESF construction.

5 Here is our current drilling schedule to support
6 this. There is one thing in here that is a little bit
7 confusing perhaps. NRG-6 which is the deep borehole at the
8 north end, at the end of the north ramp, is conveniently
9 located close to one of the proposed SD boreholes, SD-1.
10 What we have done is to consolidate SD-1 in this particular
11 drillhole, so we will be drilling one hole here which will
12 fulfill the functions of both the statistical program and
13 also to provide design information for ESF ramp. Eleven
14 boreholes altogether here.

15 Now the drilling schedule you have is based on a
16 lot of assumptions. It is based on assumptions about
17 drilling rates, which have not been validated yet. Not at
18 Yucca Mountain. So there is quite a bit of enlightened guess
19 work, if you will, that are in those drilling schedule. They
20 are also based on assumed target depths that could change if
21 we change parts of the program. And, I bring this up because
22 Dr. Domenico alluded to this yesterday. One of the comments
23 that came out of the Hydrology Peer Review Team about a year
24 ago was that we needed more information from below the water
25 table. Most of the WT holes, water table holes that we have

1 currently on the program are currently scheduled to go, not
2 very far into the below the water table that is primarily
3 into the tuff aquifer.

4 We have got eight new boreholes planned as part of
5 this program. If we change the target depth for some of
6 these holes, of course, that is going to change the drilling
7 schedule somewhat. It is going to take more resources to
8 drill things deeper. Here are the existing boreholes, again
9 those with no annotation on them, mostly located well away
10 from the conceptual perimeter drift boundary. Those with
11 annotations on them are the proposed new part of the drilling
12 program.

13 DR. DEERE: Excuse, could you point out once more the
14 new ones, the deep ones that would go through the carbonate
15 aquifer, or do you know those as yet?

16 DR. DYER: Well, of these, I don't think any
17 particularly would go to the carbonate aquifer. We might go
18 into the--well, actually, Dr. Dudley? No? None?

19 DR. DUDLEY: The plans are too uncertain.

20 DR. DYER: We will probably deepen some of these. I am
21 not sure exactly how far we would deepen them. It may be that
22 we may wish for some of them to penetrate the Paleozoic. We
23 have a couple of wells that are targeted for the Paleozoic.
24 They are mostly the G holes. But, right now in our plans,
25 none of the WT holes are targeted for the Paleozoic. But, it

1 may change, of course.

2 DR. NORTH: I would think it would be useful to explore
3 further the value of the information you might get from going
4 down into the carbonate aquifers. I would think WT-19 and 20
5 would be the obvious candidates, because they are going to be
6 down gradient from the repository and that is the area where
7 you might like to learn what is down there.

8 DR. DYER: That's true. The only well we currently have
9 that penetrates the Paleozoic, is P-1, which is located, let
10 me see if I have got this right, I think it is right about in
11 here.

12 DR. DEERE: Isn't that the one that has the 50 foot sub-
13 artisan level after you hit the contact?

14 DR. DYER: Dr. Dudley says yes. Dr. Hoxie says yes. We
15 consent.

16 DR. DEERE: I just don't see how you can walk away from
17 it and say we have one indication of it and that is it. That
18 to me is an important part of your frame work.

19 DR. DYER: I agree. As I said, this is our snapshot in
20 time right now. We know there are some changes that need to
21 be made to this, we just haven't got them all filtered
22 through the system yet.

23 DR. LANGMUIR: Are these two inch holes? What are the
24 diameter of these holes?

25 DR. DYER: I'm sorry?

1 DR. LANGMUIR: What are the diameter of these holes?

2 DR. DYER: For the WT holes, those are 12 1/4 inch
3 holes.

4 DR. LANGMUIR: Might some be used as monitoring holes
5 later on if the site is approved?

6 DR. DYER: Oh, absolutely.

7 DR. LANGMUIR: Was that the intent that you keep them
8 for that?

9 DR. DYER: Yes. Some would be monitoring holes. If
10 they have no use as a monitoring hole, then are committed to
11 go back in and seal all of these.

12 DR. DOMENICO: Russ, one more. In view of the new
13 theories on the origin of the gradient, the large gradient,
14 are there any geologic holes planned in the vicinity of that
15 gradient to see if it coincides with the pinch out of the
16 Eleana shale, because that is kind of a new idea?

17 DR. DYER: Well, G-5 right now, we are still struggling
18 with exactly where that might be. One suggestion is to drill
19 it right in the middle of the gradient to test the
20 possibility that it is a drain. There is a, I don't have it
21 on here, but there is a suite of geophysical surveys that
22 will be run this summer that will also try to help acquire
23 information that will help us locate G-5.

24 One question that often comes us is what parts of
25 the surface-based program can be modified or changed based on

1 the underground program, the greatly expanded underground
2 program. I think perhaps you have noticed so far that the
3 bulk of the drilling program that we have scheduled so far
4 lies outside the volume of rock that is sampled by the ESF,
5 the underground ESF. There are some other tests, however,
6 which in fact may well be satisfied by an underground
7 facility rather than a drilling program. Although it is a
8 relatively trivial part of the program, let me throw this one
9 up just as an example. This is drilling associated with
10 resolving the calcite silica issue. Again, conceptual
11 perimeter drift boundary. This is the Exile Hill area right
12 in here. Trench 14 lies right in here. And one of the ideas
13 in the study plan, John Stuckless' study plan, was that if
14 upon deepening of Trench 14, the information was still
15 ambiguous as to what the origin of those materials might be,
16 it might be necessary to put in some angled holes to sample
17 the Bow Ridge fault system and the associated vein system at
18 a greater depth.

19 So these holes were built into the program some
20 years ago. Of course, since we modified the concept of ESF,
21 we now have in our program, in our plans, a very large
22 borehole that would go right through here and that is the
23 north ramp to the ESF, which essentially goes right under
24 Trench 14. So this, of course, gives us the at depth,
25 essentially the exposure of the Bow Ridge fault system and

1 the associated vein system.

2 I am not going to go throw these out of the book
3 just yet, but I must say that these do not have a very high
4 priority whenever it comes to funding.

5 Leon.

6 DR. REITER: Leon Reiter. How would you respond to
7 Steve Frishman's argument this morning that they are
8 hydrothermal deposits. Perhaps Trench 14 is the least
9 significant of them.

10 DR. DYER: I guess I am a little puzzled by that. Two
11 years ago Trench 14 was the most obvious example of it. And
12 now it seems to be the most ambiguous example of it. So,
13 Trench 14 is only part of the program to look at the origin
14 of the calcite deposits in the vicinity of the potential
15 repository.

16 DR. REITER: So you are not restricting yourself to this
17 one hole?

18 DR. DYER: Oh, absolutely not.

19 MR. GERTZ: Leon, let me add also, the National Academy
20 Panel on coupled process looked at many suficial deposits.
21 It wasn't focused just on Trench 16. It was the wide ranging
22 examination. I have just been told officially that they
23 intend to provide us that report to my staff at 12:30 on
24 Monday at the St. Tropez in Las Vegas. So, we will hear more
25 about it then.

1 But certainly their approach to the problem was
2 much more than Trench 14 and that is even why the name of
3 their Panel was called a Coupled Process Panel.

4 DR. DYER: The last one of these information pairs I
5 would like to go through with you today is the one for
6 artificial infiltration. I do it for primarily one reason,
7 which is to explain what appears to be a horrendous number
8 here, 232 boreholes. However, what I would point out is that
9 the majority of these holes are going to be about 5 feet
10 deep. So we are talking essentially about postholes. And
11 232 postholes, well actually it is about 140 postholes, that
12 is a reasonable fence. We are not talking about a large
13 resource commitment that is part of the drilling program
14 here, even though the number looks to be horrendously large.

15 The purpose of this particular study is to under
16 controlled conditions, apply water at the surface,
17 essentially a sprinkler field and examine the response of the
18 near surface at depth, with time as a function of how much
19 water is applied. So again, this is a control experiment
20 trying to calibrate what we see through the natural
21 infiltration studies. Again, this is part of Al Flint's
22 study.

23 DR. CANTLON: And that map there is the location?

24 DR. DYER: That's right. And what I have on here, the
25 two symbols here, we didn't want to plot all 232 drillholes

1 on here. What we have is clusters of large and small plots
2 which have several sampling holes and distribution of
3 sampling holes in there to which will be applied some
4 sprinklers, essentially.

5 The solid block diamonds are the large simulation
6 plots. The open deltas are the small plots. Just the
7 location of the small plots, we didn't attempt to plot every
8 small hole in here. Some of the holes may be as
9 deep as 50 feet, but those are in the minority.

10 I think now that you have seen the logic here,
11 unless you have questions about specific parts of the
12 program, I was going to skip through the rest of it and get
13 down to the conclusion, in order to give you a little more
14 time, because he has some very interesting information to
15 share with you about the development of the drilling
16 technology.

17 The surface-based testing program is in part based
18 on drillholes. That is one way that we acquire access into
19 the subsurface. There is also a component of the program
20 that looks at basic surface mapping, trenching, geophysical
21 techniques, etc. But, the part of the program that I am
22 describing to you today is based on the integrated drilling
23 program. The purpose of this program is to acquire
24 information for site characterization or suitability
25 evaluations or performance assessments and also for design

1 functions.

2 One of the positive attributes of this surface-
3 based program is it provides us information about a three
4 dimensional volume of rock. A large volume of rock, that we
5 don't get entirely from an ESF. It also, if the current
6 drilling schedule holds us, provides us information in a
7 relatively timely manner. Right now we are scheduled to have
8 completed the drilling program in March of '98. That's is
9 what you see on the schedule back there. That of course, is
10 dependent on funds materializing when we think they will, ESF
11 testing, at least with the scenario we had in mind whenever
12 we put the drilling schedule together. ESF testing was
13 scheduled for September of '97.

14 The tests themselves, that follow on after the
15 drilling program, are designed to provide a greater
16 understanding of the water and gas flow processes within the
17 mountain. If you remember back to the results of the test
18 prioritization task force approximately a year ago, there
19 were three things that ranked highest in categories of things
20 for which we had uncertainty. One was Carbon-14. A second
21 was those processes by which aqueous flow and transport, if
22 you will, and gaseous flow and transport. These are the
23 types of information needs driving this part of the program.

24

25 Finally, water table evaluations in conjunction

1 with the geologic studies. This will provide, if you will, a
2 continuous stream of information which will feed the
3 iterative performance assessments. We intend, as I talked
4 about this morning, there is going to be a delicate give and
5 take here as the program matures, as we acquire information
6 through the testing process, we will also be doing
7 modifications of the testing process. Some tests may be
8 emphasized. Some new tests may be identified. But, this
9 cannot be a static program. This has to be a dynamic program
10 to respond to our evolving state of knowledge.

11 That concludes my presentation.

12 DR. DOMENICO: Are all the holes going to be 12 inches
13 or so in diameter?

14 DR. DYER: No. Well, let's take for instance the
15 neutron holes, which we have I think seven drilled now. They
16 are 5 1/2 inches in diameter.

17 DR. DOMENICO: What size of the holes will you be
18 collecting core? What will be their diameter?

19 DR. DYER: We are collecting, well we have got it out of
20 the 5 1/2 inch holes and we will be getting it out of the
21 larger holes.

22 DR. DOMENICO: Are you going to do a 12 inch core?

23 DR. DYER: No. No. It is not 12 inch core.

24 DR. DOMENICO: Okay, you would be doing it first then.
25 What size will the core be?

1 DR. DYER: 2.4 inch.

2 DR. DOMENICO: Okay. I was just wondering if you would
3 get some big cores with those big REECO rigs. Are you using
4 the REECO rigs?

5 DR. DYER: Well, for some part of the drilling program
6 we may. Whenever we sank JF-3 in January, we used a REECO
7 rig. We skidded on a REECO rig there. It was a conventional
8 wet drilled hole.

9 DR. LANGMUIR: It looks as if all of your deeper holes
10 are going outside the repository block, as it makes sense.
11 But, there has been some discussion, has there not of
12 possibly needing more rock volume for the ultimate repository
13 and perhaps expand it going beyond that block. To what
14 extent is that being considered in your choice of deep holes
15 outside the existing block?

16 DR. DYER: Well, I don't have one that specifically
17 culls out the deep holes. But, this of course is based on
18 our current understanding of characterizing a particular
19 block of rock. If we need to change the area in which we are
20 emphasizing the characterization we will modify the drilling
21 program accordingly.

22 Dr. Barnard.

23 DR. BARNARD: Maybe a related question is are there any
24 measures that you take specifically for those holes on block
25 that you don't do for the ones off block? In other words,

1 are you going to be doing things off block that may
2 jeopardize your chances later on if you need to expand?

3 DR. DYER: No. Every hole we are putting in is site of
4 the characterization program whether it is on the block or
5 off the block. We do an evaluation as to what the impacts of
6 waste isolation might be.

7 Obviously if the hole is down gradient each of the
8 repository block, then the threat that it would pose to a
9 potential repository is somewhat lesser. But, the data
10 collection procedures are exactly the same, whether or not
11 one is on or off the block. The information acquired should
12 have the same pedigree no matter where one puts in the hole.

13 DR. LANGMUIR: Russ, Langmuir again. Looking at your
14 planned drilling activities table, I don't see any activities
15 which identify gas studies. In other words the existing
16 composition and ages of gases in the unsat zone and going on
17 down will be very interesting in connection with what we are
18 trying to do.

19 DR. DRYER: Al Yang's studies, the UZ-9 series. It is
20 part of the UZ program UZ-9, 9a and 9b form a series of three
21 holes which are dedicated to Al.

22 DR. LANGMUIR: Is that enough? Just three holes?

23 DR. DYER: No. Al also will do some sampling in some of
24 the other UZ holes. He is one of the first users of the UZ
25 series of holes.

1 DR. PRICE: Did you look at the ESF and ask the
2 question, how can I use it to minimize the number of holes I
3 might have to drill?

4 DR. DYER: Not thoroughly. That is something we need to
5 go back and do. But, part of the problem of course, is that
6 much of the information that we are trying to acquire lies
7 below or above the ESF horizon. We still have those
8 information needs above and below the repository horizon.

9 We have gone back and done some relatively quick
10 studies, trying to identify things that can be satisfied
11 through in situ testing in the ESF. But, I don't see a whole
12 lot of things that we can move out.

13 DR. PRICE: Do you have an intention to take a harder
14 look at the ESF with that regard?

15 DR. DYER: Well, absolutely. We need to, as I said, as
16 we get more information through this program, as the design
17 matures, we have got to go back and re-evaluate the basis for
18 this on, I won't say a continual basis, but at least on a
19 periodic basis.

20 DR. PRICE: And did I understand your previous answer to
21 the question that once you are committed to your drilling
22 program, the option or alternative to change the block size
23 may then be set by that drilling program?

24 DR. DYER: No. I don't think that is necessarily true.
25 We are putting the same care into holes we drill outside of

1 the conceptual perimeter drift boundary as inside the
2 conceptual perimeter drift boundary. If at some time in the
3 future it is necessary to modify that boundary, either expand
4 or shrink that boundary, I think we would still have the same
5 level of information available taking the same care in the
6 holes that we drilled inside and outside the perimeter
7 boundary.

8 DR. LANGMUIR: Russ, one more. Looking at your drilling
9 activity table again, obviously you have specific functions
10 for each hole as identified. One of the powerful things
11 about a time-line activity such as this should be and
12 presumably will be, is that when the hydrologist's putting
13 this hole down, the geochemist is there to collect the water
14 sample, to do chemistry on. And the man who is in it in
15 gases is collecting gases. So, you have that flexibility no
16 matter what the specific main function might be in any one
17 hole. And that is important to the program.

18 DR. DYER: That is absolutely right.

19 We sent out a letter to all PIs within the program
20 and said we are going to make the UZ-16 hole available.
21 Testing community, what are your needs? If you have specific
22 needs for a test, that is, if you cannot do your test if
23 somebody else has done something else in the hole before you,
24 let us know what your requirements are, then what we have to
25 do is to build up a test sequencing program and make sure

1 that we minimize test interference and that we are able to
2 accommodate all or at least most of the investigators that
3 plan to acquire information in a given
4 hole.

5 DR. LANGMUIR: In that same vein, are all these holes
6 required? In other words, couldn't--is it conceivable that
7 much of the information available from some could be obtained
8 from others at the same time they are being done?

9 DR. DYER: That may turn out to be true. However, I
10 guess I would be reluctant to buy into that at this early
11 stage. I encourage you to ask me that question in about
12 three years.

13 DR. LUCE: Luce, Board staff. What sorts of procedures
14 are necessary if in drilling a hole, in the midst of drilling
15 a hole you discover that it is not quite in the right place
16 or you are discovering something that requires a change in
17 position? I mean, how easy is it to pull out of the hole and
18 move to a more suitable site?

19 DR. DYER: Well I can give you our experience based on
20 what we have done in the neutron holes. And, to get the
21 paper work in place to accommodate that has taken a few days.
22 As long as it is not a major change in objective, if you are
23 still searching for the same target horizon, but let's say
24 the initial hole that you had planned to put in happened to
25 be on the perimeter of a tortoise study area, you need to

1 move the hole 30 feet to get it out of--true story, just to
2 move it over and you still have the same objectives, it is
3 relatively simple to get that through the system.

4 DR. LUCE: But couldn't one save a couple of days by
5 having some guidelines in place that if certain things
6 happen, it could be decided on the spot by people authorized
7 to make that sort of decision?

8 DR. DYER: Yes, it could be and that is something we
9 need to work toward is to give the people in the field the
10 appropriate level of responsibility and authority to make
11 decisions up to a certain level, make and implement decisions
12 up to a certain level.

13 MR. GERTZ: Russ, this is Gertz. What Russ is
14 describing is essentially our change control process. And
15 right now in the field as we are drilling and doing pads, we
16 have change board meetings. In fact Winn Wilson had eight of
17 them last week to change different aspects of either building
18 a pad or drilling a hole and appropriate people are buying
19 off. But, in the regulatory environment we operate, it must
20 be controlled, because the original designer of an
21 engineering facility or a study, needs to buy in on any
22 changes to his design, or else you invalidate the original
23 design. And we have to have a traceability of that.

24 So, while it might appear, it doesn't matter to
25 move the hole 30 feet, we need to make sure that it is all

1 documented, that everybody that has bought off on the
2 original location, buys off on the new one. We can do it in
3 the field and we have been doing it, we have been drilling
4 out there five months out there and moving holes here and
5 there and moving pads here and there and redesigning pads and
6 the system works. But, it is certainly a little more
7 cumbersome than other systems you might be used to.

8 DR. LANGMUIR: A question for Carl, Langmuir again, or
9 Russ on this one.

10 I am impressed that quality assurance doesn't slow
11 that process down. I mean the fact that they bought into a
12 generic--

13 DR. DYER: They are involved in there.

14 DR. LANGMUIR: So they are quick to respond, then?

15 MR. GERTZ: They are on-site.

16 DR. DYER: It's in there.

17 MR. GERTZ: They are part of that change board and we
18 have to have their "buy into the change" that the appropriate
19 design or scientific requester agrees with the change. And
20 also, it doesn't affect waste isolation or it doesn't affect
21 any other test that is planned across the program. And all
22 those analyses have to be done before the change can be
23 approved. But they are right on site buying into the
24 process today. That's consistent with a sound quality
25 assurance program.

1 DR. LANGMUIR: It's come a long way.

2 MR. GERTZ: Yes. They are part of the system.

3 DR. NORTH: Max, you had a comment or question?

4 MR. BLANCHARD: Yeah. I would like to help address Bob
5 Luce's question.

6 We have a procedure on the books which addresses
7 what you do if you encounter an unusual geological or
8 hydrological occurrence. That procedure is there partly
9 because it is just prudent to make sure that if you have
10 encountered something that you didn't expect, that you sit
11 back and don't ignore it and decide well, should I proceed or
12 should I not proceed? Should I do something different?

13 But the procedure is also there because when you
14 look at the NRC licensing process that has been used for
15 siting activities for nuclear power plants, there is some
16 special provisions that require the applicant to make sure
17 that they don't ignore otherwise telegraphic signs that they
18 should have been aware of. Also, it is there to protect
19 everybody involved where they may make a mistake in
20 identification for the origin of a process or a feature and
21 then just continue on and not realize that effectively what
22 that feature was trying to tell the people. And they just
23 because of time or money they went ahead and assumed it was a
24 certain origin when it wasn't.

25 We are not anxious to get into those kinds of

1 situations and in order to prevent them from happening from
2 the outset a few years ago, we developed this procedure. It
3 is in place now. I don't think we have used it because we
4 haven't encountered a condition that would cause us to use
5 it. But, I am sure as we proceed through site
6 characterization, there will be times when we need to decide,
7 this is enough of an unusual feature; let's sit back and
8 analyze it before we move forward.

9 DR. NORTH: Leon.

10 DR. REITER: Russ, maybe you have answered this in a
11 different way, but I wonder if you would look at it in this
12 perspective?

13 We heard the early site suitability evaluation
14 report beforehand, and they had some recommendations and Pat
15 Domenico talked about some early problematic things that
16 might occur. With the focus on early site suitability and
17 the focus on identifying things that might render the site
18 unsuitable and knowing that as soon as we can, what
19 contribution does the surface base testing add aside from the
20 general knowledge base? Are there some specific--like for
21 instance, the early site suitability report, I think, correct
22 me if I am wrong Jean, I think they said that one of the most
23 important things was identification of fast paths. There may
24 have been other features also.

25 So, in this context of early recognition of things

1 that might lead to this qualification of the site, how can
2 the surface program help us?

3 DR. DYER: Okay. Let's take for instance part of the
4 program that has been going for awhile. You remember back to
5 the January meeting, I gave a presentation of some early
6 information from Al Flint's natural infiltration program.

7 The information that I presented showed a
8 distribution, it was presented in several ways but let's call
9 it moisture content; the profile of moisture content in the
10 rock as a function of depth. What we saw was that there was
11 a systematic increase in moisture content within the Tiva
12 Canyon down to a certain level. And then within the unbedded
13 portion of the Paintbrush things changed systematically and
14 then we saw a systematic variation within the Topopah
15 Springs. All of which suggested that if fractures were there
16 they were not continuous. That is, you did not have a
17 continuous fast path system.

18 Now, what we are seeing from what I know of the
19 follow on holes that Al has drilled, is that that was not
20 unique to that hole. That seems to be an indicator and seems
21 to be consistent with what we are observing elsewhere
22 throughout the system, which would suggest at least in the
23 near surface, that you don't have continuous fast pathways;
24 continuous connected fracture flow. You don't see a record
25 of such a process in the geologic system.

1 UZ-16, the first deep drillhole that we will put
2 in, is going to be acquiring core which will allow us to make
3 the same observations, but all the way from the surface to
4 the Calico Hills. Again, we will look, at the systematic
5 distribution of moisture contents, other hydrologic
6 properties. I think this is a direct response to both the
7 test prioritization task force of last year and this year's
8 ESSE report, we just gain a better understanding of the
9 processes by which moisture would flow through the mountain.

10 DR. NORTH: Max.

11 MR. BLANCHARD: I would like to help answer Leon
12 Reiter's question. And that is, I think the test from either
13 the Calico Hills or the Topopah Springs through the
14 exploratory shaft facility, won't really tell us very much
15 about how the bedded tuff between the Tiva Canyon and Topopah
16 Springs functions. Whether or not there is a capillary
17 barrier; whether or not that unit acts to basically limit the
18 rate at which water infiltrates through the fractures in the
19 Topopah Spring.

20 I think that is very important like Russ mentioned.
21 But even more so when you start talking about the "what if"
22 scenarios when climate changes. So there I think you can
23 only really get an understanding of the function of water
24 flow and how that rock unit in the bedded tuff right beneath
25 the Tiva Canyon functions. That has to come from surface-

1 based drilling program, as I see it, because, you want that
2 function to be the same throughout the boundary, everywhere
3 within the boundary of the potential perimeter drift. And
4 you won't get that spatially understanding without a drilling
5 program that does that.

6 MR. BOAK: I would like to add one more voice in support
7 of that contention. One of the things we spent a good deal
8 of time the last day and a half talking about with respect to
9 performance assessment of a site was this question of what is
10 the percolation flux from the repository to the water table.

11 Perhaps far more important than the information
12 about climate, about how much rainfall will there be, is the
13 questions about how much of that rainfall will get into the
14 mountain and make it to the repository.

15 We think that well may be even more important to
16 understand. One of the things Alan said he got out of his
17 first well, in fact as a consequence of a slight mess up in
18 the well, was information that enabled him to calibrate every
19 other well he had done far better than he had before. He
20 essentially revitalized an old data set, which helped him to
21 confirm the existence of this saturation boundary throughout
22 a large part of the site. And that information might now
23 well have come from any other process but surface-based
24 testing.

25 DR. NORTH: Dr. Cording.

1 DR. CORDING: I think there is one other aspect that I
2 have felt that the underground program would assist in. That
3 is that from the surface-based testing you often don't know
4 what you have in the way of vertical joints in the vicinity
5 of those holes. And it seems to me that a lot of these
6 features that you are looking for in terms of moisture
7 content and distributions that are taking place in the
8 profile, are going to be very much influenced by proximity to
9 faults and joint systems. And that the ability to know where
10 those are are going to be more easily handled in the
11 underground facility.

12 I am just wondering and I recognize that you are
13 principally exploring at two levels the Calico Hills and
14 repository level. But the ramps are coming down through
15 other formations. I recognize also that that is principally
16 at the edges of the facility, but it seems to me that some
17 testing, when one goes through with these different
18 formations at different levels, then you get into a variety
19 of fracture type conditions that testing across different
20 series of these fractures would be a major benefit to the
21 understanding of the entire flow system and would give you
22 things that you couldn't find with the surface based testing
23 itself.

24 And I am not sure how much one can transfer tests
25 in the surface-based program to the underground, but it seems

1 to me that there is more opportunity than was previously
2 available to do these sorts of tests. Are we talking about
3 adding an increment to doing these sorts of underground
4 tests? Are they going to be done at all, or are they going
5 to be a transfer of tests from surface based program to the
6 underground program?

7 DR. DYER: A little of all of the above. I absolutely
8 agree with you that a vertical borehole is a very poor way to
9 sample a vertical feature such as what most of the fractures
10 are going to be.

11 What we have to have is an integrated program which
12 consists of both a surface-based component and an underground
13 component. Some of the tests if you will, some of the
14 observational tests that are appropriate on the surface are
15 also appropriate underneath. Some of the surface fracture
16 mapping, for instance, will take place at the surface and it
17 will also take place underground.

18 The magnitude of what is needed underground, I
19 think we are still wrestling with. There is going to be some
20 level that is going to be required just as a basic mapping
21 exercise to start out with. It may be that we need to expand
22 on the information, but from what we understand of our
23 information needs right now, based on the demands from
24 performance assessment and other users, the program that we
25 have in place is programmed to design to fulfill those

1 information needs.

2 DR. CORDING: One example, Russ, might be for example
3 going in an area you are in a certain lithology you want to
4 evaluate. You see certain fracture pattern and you decide we
5 are going to go in and put in some angle holes across that
6 feature from platforms within the EFS facility.

7 DR. DYER: Sure. I mean there is a drilling component
8 of the program from within the ESF.

9 MR. GERTZ: You may not be aware of it, but we have
10 extensive testing planned along the ramps and in the ESF
11 right now. I mean, that is part of our program. The debate
12 is do we have to add a lot more or what? That is part of the
13 program right now.

14 DR. NORTH: Any further questions? Dr. Deere.

15 DR. DEERE: Well, I think I would just like to reinforce
16 what Dr. Cording has said. We have said it in the past that
17 a ramp gives you these opportunities. And we want to make
18 sure that the opportunities that you are planning on taking
19 advantage of include possibility to do some drilling.

20 DR. DYER: Absolutely.

21 MR. GERTZ: In fact there are some planned already. It
22 is not just the opportunity. We have some planned.

23 DR. DEERE: Yes. But, you need the opportunity to do it
24 where you cross something and you need to get more
25 information so you go after it with a short adit to follow it

1 or step aside perhaps and try to cross it farther down the
2 reach for additional testing or to correlate the in situ.

3 But the overall three dimensional exploration
4 program which combines what you get from the surface testing
5 and what you can get from the subsurface exploration, I think
6 is the ideal situation. Our point of view is that both are
7 needed.

8 DR. DYER: I agree completely. No argument.

9 DR. PRICE: Russ, when you are making this holey
10 mountain, how do you go about doing it? Do you have
11 competitive bid and sell it by the hole or how is it
12 accomplished?

13 DR. DYER: Well, that is an option, I must say. Right
14 now we have been using and in the past we used REECO
15 drillers. It is possible in the future that we may wish to
16 go to some other mechanism.

17 I am interested in getting information. I am not
18 interested in running a drilling program.

19 MR. GERTZ: Let me add a little bit, because that is
20 kind of a project management type decision, and we have an
21 opportunity at the Nevada Test Site, where we have a
22 contractor who has done a lot of on-site drilling and has
23 lots of drills that we can borrow for a week or a month or
24 whatever. Crews that we can borrow if we just need them for
25 two or three weeks. So, we have made a management decision,

1 and since we are operating under federal procurement laws and
2 Davis-Bacon, you have to pay the same no matter what whether
3 you use a REECO or a non-REECO person. So, we have decided
4 to use a contractor that is in place and we will continue to
5 use that for most all of the site characterization program.
6 REECO may subcontract other things, but right now--

7 DR. PRICE: So, you have one constant available source
8 and you send them here and you send them there?

9 MR. GERTZ: That's correct. When he is not working on
10 Yucca Mountain, maybe those people are over working on the
11 underground Nevada Test Program, the bomb program. So we can
12 draw off that labor pool. There are 8,000 workers at the
13 site working on the nation's deterrent program. So we have a
14 pool of equipment and people that we are able to draw on. It
15 has worked pretty effectively right now.

16 National policy may dictate that that program
17 dwindle down a bit and certainly it is. But, we are trying
18 to take advantage of having that resource next door to us
19 right now.

20 DR. NORTH: Bill Barnard.

21 DR. BARNARD: Bill Barnard, Board staff.

22 Russ, what is the approximate cost of the six year
23 drilling program. Do you have any idea?

24 DR. DYER: As we have laid it out on the schedule back
25 there with four rigs running, that is about \$50 million a

1 year for I think it is a little over three years. It is what
2 about \$200 million?

3 DR. CLANTON: Yes, \$200 million.

4 DR. BARNARD: But that is for the whole program?

5 DR. DYER: That is for the whole program. Correct.

6 And, the annual cost will depend on how much drilling we do.

7 DR. NORTH: Any further questions or comments?

8 MR. GERTZ: I would just like to pass on one thing.

9 There were some discussions about exploring beyond the
10 perimeter drift. Some drillholes will get us that
11 information. Certainly, when we get underground with our big
12 excavations, we intend maybe to get the best insight as we go
13 up to what we perceive to be a barrier in the perimeter. We
14 might make some decision as to do we want to go further and
15 see if there is still good rock or where we stand. That is
16 one of our big focuses when we get underground.

17 DR. NORTH: Dr. Clanton is going to use 35mm slides.

18 Let's see if my head is in the way.

19 Question?

20 DR. LUCE: Luce, the staff for the Board.

21 I was curious about the answer that you gave to Dr.
22 Price about a single cost for drilling or rate per hour or
23 something like that.

24 MR. GERTZ: I can perhaps answer that. You want to know
25 what we are paying per hour?

1 DR. LUCE: I don't care about the cost. It just seemed
2 I had never heard of that sort of thing. I just wanted a
3 little clarification.

4 MR. GERTZ: That was what I was trying to say, when you
5 have a driller or an operating engineer or labor under Davis-
6 Bacon laws you have to pay prevailing wages. The law says
7 what you pay for that guy to do the work, no matter what
8 contract you are under at the time. That is all I was saying
9 is we are operating under Davis-Bacon laws on this project.
10 It is state Davis-Bacon.

11 DR. LUCE: It is more than just wages per hour. It is
12 also the terms of the drilling or something isn't? How many
13 people and--

14 MR. GERTZ: Oh, yes. But in essence we are using an M&O
15 contractor and it is a cost contractor. We are not in effect
16 bidding out holes or anything right now. We ask them to
17 drill a hole and we are paying the cost for what it takes to
18 do it. So, if he has to stop while the scientists gather
19 some data, that is all included in the cost. We don't have
20 to go through contract changes or anything like that.

21 DR. NORTH: Could we turn the lights down a bit.

22 DR. CLANTON: I am Chief of the Site Investigations
23 Branch. What I usually tell the people when they ask me what
24 I do, I say, well I am in the area where the rubber meets the
25 road. The planning, the procedures, the requirements

1 documents have all been written and I and the people in my
2 branch work with the PIs, the scientists securing the
3 information. I am that integrating link between the REECO
4 Raytheon and M&O people who are actually out in the field
5 digging the trench, drilling the borehole.

6 I would like to point out that today I will be
7 talking about three different types of data and there will be
8 an icon on most of the slides that tell you whether it is
9 soft data like a cloud, hard data like a brick wall, or for
10 illustration purposes only. For those areas where the
11 information is soft or for illustration purposes only, please
12 realize that is what it is.

13 Our story begins about four years ago. We had a
14 drilling workshop. We had PIs invited in and the question
15 was, what do you want? What do you need to do the science
16 you need to do to characterize Yucca Mountain? We also had
17 members of the drilling industry there; oil, construction,
18 water, mining. And the idea was to let everyone understand
19 what the needs were and how could we obtain that information.

20 So, as you would expect, there was a fairly wide
21 variety of requirements, but when we nailed down perhaps the
22 two end members, what we found was that some of the
23 scientists needed core as close to in situ conditions as
24 possible. These are the people that we have already heard
25 about today. The people trying to study the geochemistry;

1 the moisture content in the core; gas present in the
2 mountain. If you drill a borehole with mud either water
3 based or oil based with chemical added to control whatever,
4 then all of a sudden, you lose what you are trying to
5 understand. What is the in situ condition of the mountain?

6 On the other end of the spectrum, we had the people
7 who wanted to study in situ, put instrumentation downhole,
8 packers downhole, pull samples of the moisture, the gases
9 present in the mountain. These people wanted a clean
10 borehole, no mud pack on the wall. They would like to be
11 able to run a TV camera down the borehole, take super high
12 resolution photographs of the borehole wall. What do the
13 fractures look like in place? It may not be quite as good as
14 a TBM hole, but at least you have got eyeballs at depth in
15 the hole.

16 Both of these things are pretty significant
17 drivers. The first question that we asked was to the oil
18 industry representatives, the people that make their living
19 working in the oil patch. We turned to them and said can you
20 help? The oil industry people, the rig builders and so
21 forth said, well you have some rather unique and severe
22 requirements. We have neither the technology or the
23 techniques to help you in characterizing Yucca Mountain.

24 In the usual words of Las Vegas, the people
25 folded. We turned then to the people that do water wells and

1 so on using the ODEX system. You may or may not be familiar
2 with it. It is a rather unusual drilling technique developed
3 originally to drill in unconsolidated
4 sediments.

5 The people commented that well they might be able
6 to core dry instead of the way they normally do it. They
7 could then also perhaps ream down a larger borehole, but
8 since the drilling technique that they use carries the casing
9 with it as they drill, they would not be able to produce the
10 clean borehole that you could look at. And since the casing
11 is kind of an integral part of the drilling program pulling
12 it out might not be all that easy.

13 So, the other problem that they said was the
14 technique is typically designed for loose material. When they
15 got into the harder rocks it didn't work too well. Equipment
16 problems. Rates dropped. So, in effect, the ODEX people
17 said we have an idea, but we really cannot help. We cannot
18 get the depth you need and the hole that we finish would not
19 be suitable for the testing that you want. But, perhaps we
20 could get dry core.

21 It has been said that when a man is drowning he
22 will grasp for the smallest straw. The question was again
23 repeated for the mining industry. We did not grasp straw.
24 Instead we got a rather remarkable individual by the name of
25 Alan Lang. He kind of does it his way, incredibly

1 innovative. He is the person that started Lang Exploratory
2 Drilling, one of the better exploratory drilling type
3 companies around now, primarily in the area of mining. He
4 innovates. So, he said, well there may be a way.

5 The requirements that came out over the next few
6 minutes, said well the drilling rigs that are normally
7 available in the mining industry are too small to drill the
8 boreholes you need to drill. They do not have the horsepower
9 or the capability. But, perhaps the concept is there.

10 The reaming bits that we would have to use would
11 have to be designed to run dry. The technology would have to
12 be developed or adapted. A coring bit also would have to be
13 developed and in effect a totally new drilling and coring
14 concept would have to be developed.

15 What was proposed was a drilling system that was a
16 3X plus enlargement of the largest mining rig in existence at
17 the time. In contrast to the more conventional oil patch rig
18 that most of us are familiar with, this system has no kelly,
19 no turntable. It is a top-head drive. The conventional oil
20 patch rig uses collars on the drill string to push the bit
21 into the ground. Because the borehole diameters that we are
22 dealing with here that capability does not exist. So, the
23 rig is designed, the common rig, the top-head drive rig that
24 is used in the mining industry has the capability to push, to
25 pull and to rotate or push rotate, pull rotate in contrast to

1 the usual oil patch rig. You can pull, you can rotate, you
2 cannot push. The weight of the collars do the pushing for
3 you.

4 In a borehole that is air only, no mud to help keep
5 the borehole open, that capability to push and to pull and to
6 rotate is critical to get in and out of the hole.

7 The suggestion is dual wall, reverse circulation.
8 Why? One of the requirements, one of the needs by the PIs is
9 to keep from plating the borehole wall with the cuttings.
10 The dual wall system uses a pipe within a pipe. The high
11 pressure air comes down to clean the inner and outer pipe
12 across the bit face. The cuttings then are sucked back up
13 that center pipe to the surface so there are no cuttings then
14 that are blown up then around the bit. No cutting movement
15 between the string bit and borehole wall. It is clean all
16 the way.

17 The other item that was suggested by Alan in the
18 meeting, if you made an open center bit, it might be possible
19 then to leave the drilling string in the hole, drop the core
20 rod, core bit down through the string and core ahead some
21 distance, pull core using the mining technique, the wireline
22 core retrieval. Core ahead. Ream ahead. Core ahead. Ream
23 ahead.

24 At the time we didn't know really what
25 polycrystalline diamond composite bits were, but again, that

1 is part of the development process that we have gone through.
2 We have burned up a lot of bits but this is about where we
3 are today.

4 The other item was the alternate cone-reaming bits.
5 We will talk more about that in detail.

6 Lang was our only hope. He was convincing. He
7 laid out a program. A developmental program. Working with
8 him a little bit, he been planning on building a rig, a 120
9 rig, a rig with 120,000 pound pull back capacity for some
10 period of time. He did not have an incentive. DOE provided
11 the incentive. We said, you build a rig, we will lease it.
12 We will test the concept and the tools. Then, oh, by the
13 way, if it works we will probably use the 120 rig and drill
14 what were then the prototype boreholes around the exploratory
15 shafts.

16 The rig was built. We started using it testing the
17 concept, testing the tools, and then it became time to put a
18 contract on the street for a rig big enough to do the total
19 drilling program, the 3,000 foot dry borehole.

20 One of the questions that was asked earlier was,
21 how did you buy the LM-300? What you see on the slide here
22 in blue with the exception of this one, actually the 40 feet
23 here should have been in blue, the information listed in blue
24 there essentially was the specification in the contract that
25 went on the street sole source to Lang Exploratory Drilling

1 to build an LM-300 rig. The rig was more than three times
2 larger than anything that had ever been built for the mining
3 industry. We said we want two engines on there. We want to
4 have a pull back capacity of about 240,000 pounds. The
5 weight of the string in the hole with some reserve for
6 pulling it out and so on down through here. We asked for 40
7 feet to be able to stack dual core rods over here. And, we
8 said we would like a hole in the floor so that we could put
9 24 inch pipe through. The items in parenthesis here
10 is the product that he delivered.

11 The contract was a sole source contract. It was a
12 fixed price contract. It was originally set up to be
13 delivered in 60 days and we would have probably made it
14 except the people making the cylinder, the hydraulic
15 cylinders that drive it 77 feet long, came in about two
16 months late. An incredible engineering achievement.

17 The information is hard. Here it is. It is built.
18 Here it is. Oh, one of the requirements by the way that was
19 not on the other slide, was you had to be able to drive it
20 from place to place. So, here it is driving from place to
21 place in Utah. Front end to back end it is 100 feet long.
22 It weighs 267,020 pounds, we think. And, you can drive it
23 down the road. There are ten axles, singles on the front,
24 singles on the rear, tag axles. The tag axle can be removed
25 and duals here. If you are running down the road those of

1 you with CB's and hear something talking about a 28 wheeler
2 coming down the road, you had better part. That is 267,000
3 pounds coming your way.

4 There are some states where you cannot get a permit
5 to drive it on the highway. And so, what I show you here is
6 the LM-300, sucked up under an even larger piece of
7 equipment. If you notice in the front right here, this is
8 the puller truck. This is the pusher truck back there. And
9 this one talks to this one by radio, since this one can't see
10 where they are going.

11 DR. LANGMUIR: How do you handle a curve in the road?

12 DR. CLANTON: How do you handle a curve in the road?

13 Boy, you are good straight man.

14 In about this area here and in the area right about
15 here you see kind of what looks like a little fence. If you
16 look closely here and here and here and so on like this,
17 these are hydraulic cylinders that can be actuated from the
18 people riding here and here. And the unit can be driven down
19 the road, but even in a large wide road, they need it all.

20 Here it is being transported in to the test site.

21 From the front to the back of the truck, bumper to
22 bumper it is 310 feet long. For those of you who are
23 football fans from about the front wheels here and the back
24 wheels there that is about where the goal line would be.

25 DR. CANTLON: What's the use?

1 DR. CLANTON: I'm sorry, what's the use?

2 DR. CANTLON: What is the use of that? What is it?

3 DR. CLANTON: This is a transporter designed to carry
4 large loads like the LM-300, reactor vessels and things like
5 that from point A to B. These people are also out of Salt
6 Lake City.

7 Here is a shot of the LM-300 during the first
8 shakedown in Utah. In this particular view, the pipe rack is
9 empty; the core rod rack is almost empty. There are four
10 units here. There are almost 2,000 feet of core rod hanging
11 in the finger board. There is a little over 2,000 feet of 9
12 5/8ths dual wall pipe in the hole for scale. There is one of
13 the guys working on the pipe rack. The front of the LM-300
14 is right about here. The back end is here. This is the cat
15 walk and so on like that in the area over here; the
16 compressors.

17 A little bit of a close up. In this particular
18 sequence we are coming out of the hole pulling the dual wall
19 pipe out of the hole here. Here is a chunk of the dual wall
20 pipe. It is 20 feet long. It weighs 60 pounds to the foot.
21 That is 1,200 pounds there. The pipe handling system is
22 here. This comes down picks up the pipe, brings it up,
23 rotates it, swings it around on the top head drive and then
24 puts it in or out of the hole as it may be.

25 Another shot now, here is the top-head drive driven

1 up and down by the hydraulic cylinders on the back and some
2 two inch diameter cable. In contrast again to the normal oil
3 patch drill rig, the end of the pipe right here screws on.
4 The top-head drive is spun up into the other end of the pipe
5 being held in the clamps in the floor. The rig is run from
6 the console.

7 Let's review quickly in case you kind of didn't
8 follow what I was saying in the past. The cartoon shows here
9 the dual wall system in place with the bit down here. What
10 we have done now is started to core. This part of the drill
11 string is disconnected at the top, left sitting/hanging in
12 the hole and we come inside that pipe then with a core rod
13 and here is the core catcher and so on. You core in a series
14 of ten foot intervals, drop a wire latch in here like this,
15 pick up the core barrel, pull it out, exchange it for a new
16 core barrel and drop back in and continue to drill in about
17 40 foot lengths.

18 Why do we quit at 40 foot lengths? The core rod is
19 a bit limber, 3 3/4 inches in diameter. And as you begin to
20 advance there is some tendency to deviate. And when it
21 deviates to the point that when you start the reaming cycle
22 that we will see in a moment and start producing new "core"
23 by the core coming up inside of the reaming bit, then we plug
24 up, we have a problem. You don't want to do that.

25 Here is an example of what the hardware actually

1 looks like laid out on the racks. Here is the 20 foot
2 length, the dual wall pipe, the bit down here. Notice six
3 roller cones. And in this particular scenario every other
4 cone points in and one points out.

5 The bit is different than what you would normally
6 see as a regular tri-cone bit. The bit is shrouded up here
7 and that shroud helps control the air flow at the bit face
8 and to return it out the dual wall string. Shown in this
9 configuration is the reaming cycle. Here is the reaming bit.
10 Now coming down through that dual wall pipe through the
11 reaming bit and coring ahead in ten foot intervals. Smaller
12 diameter here, 9 1/2, this is 12 1/4. This one shows the 2.4
13 inch diameter core CHD-101 system. This configuration shows
14 the 134 system, 3.3 inch diameter core. These are the
15 carbonado bits, the ones that we will talk about a little
16 more in detail. This one is a matrix bit. And again, we
17 will talk more about those in just a minute.

18 Here we are pulling core at the Berrick-Mercer
19 location in Utah, a working gold mine.

20 Here we are, we pulled the core and we are reading
21 to ream down. Here perhaps is the heart of the system. The
22 core rod is pulled out of the hole and stacked in 40 foot
23 lengths in the rig. You hook up again to the dual wall
24 system. The high pressure comes down between the inner and
25 outer walls across the bit face. This arrow is in the wrong

1 place. Then, the cuttings and the return air is sucked to
2 the surface. The intent is to try not to pressurize this
3 area. The conventional drilling that takes place while we
4 are pulling the core, will inject some cuttings, some air
5 into the formation here. The reaming cycle, hopefully will
6 take most of that out and produce a very clean, slick
7 borehole with minimal contamination.

8 We move now to Colorado School of Mines and some of
9 the testing that they have done for us. Here are a few of
10 the bits that have been tested in the lab. The bits here are
11 the PDC, the polycrystalline diamond composite bits. We will
12 talk more about them in a few moments. The bits, I believe
13 are the thermally stable diamonds that we have tried. The
14 one here and the one back here are the matrix, carbonado bits
15 that we have tried. Each of them have worked some better
16 than others. We will cover a little more detail on each of
17 those.

18 You see here again the 134 or the 3.3 inch diameter
19 coring bits. The smaller ones here now are the 101 2.4 inch
20 diameter bits.

21 This is hard data. I am super proud of this data.
22 And again part of the information here is primarily from the
23 testing that has gone on at Colorado School of Mines. If I
24 had plotted the other dimension on there, what you would have
25 seen was beginning at this point and ending up right about

1 here would have been the matrix bits.

2 When we started the drilling program we went to
3 industry and we said what do you think will work? And the
4 comment we got back was whatever works, this is best. We
5 burned up an awful lot of bits like this. Penetration rates
6 ran from less than a foot an hour to maybe up to about four
7 feet an hour. And, finally, we got a gentleman by the name
8 of Mr. Wally Swenson in, who holds some of the basic patents
9 on the wireline system by the way, to come in and make some
10 suggestions. He said, gee, if you go back to the carbonado
11 design bits that we used before we had the matrix bits and if
12 you made them this way, you cut the water courses/air courses
13 this way, they might work better. But remember we are doing
14 this dry. No water. No foam. No mud. Air only down the
15 hole. So, when the original carbonado bit showed up and we
16 started cutting like that, we were really happy.

17 When we finished Apache Leap, some of us who are
18 just normally paranoid said, gee, I wonder what that bit
19 would do in TSW-2, the rock that we are going to have to deal
20 with at the site. So, what we found was that the penetration
21 rates dropped by roughly half. So, we went back to the
22 industry and we said, can you help us a little more. They
23 came up with what they called the improved carbonado bit. We
24 will see some photos of that in a minute. At the same time,
25 we said well how about those new polycrystalline diamonds?

1 Will they help? The drilling industry, the bit industry
2 said, well gee, we normally run those wet and we have
3 problems keeping them cool; they heat up and fail. And, oh
4 by the way they are impact sensitive, so they work super well
5 in salt formations where they don't load/unload hit things
6 hard and then hit things soft or empty like fractures
7 lithophysal and we don't think they will work. But if you
8 have money, we will take, we will build it. So, we went to
9 work with the people.

10 At the moment, the bit that we will probably use
11 when we start 16, will be one of these. At the moment I am
12 not willing to abandon the improved carbide for a couple of
13 reasons. We may trouble with this bit at deeper depths. The
14 impact, the fracture that we have to drill, the lithophysal
15 zones that we have to drill may make bit life here very
16 short. We have already figured out that in some of the bits
17 that have been designed for us, bit life is short. It lasts
18 all of about one foot. The PDCs just go to pieces.

19 But, notice what we have done here. Ideally what
20 we need to do is keep bit weight as low as possible. A 2,000
21 pound bit weight on the original design there, we get five
22 feet an hour. That heats up the core, heats up the
23 formation, requires a longer stabilization time of the
24 borehole, potentially drives out some of the moisture present
25 in the core, in the formation. But with 2,000 pounds on the

1 bit now, we are getting rates up around 75 feet an hour.
2 This again is from the set up at Colorado School of Mines, an
3 extremely rigid, tough set up. The numbers that we get here
4 are the best that we will ever see. And if anything, when we
5 get to the field they will be less.

6 But, notice that on the original designs and even
7 on the improved designs, no matter what you pushed, you could
8 only get maybe 40 feet an hour or so. And at these bit
9 weights, bit life is very brief. So at 2,000 or maybe 3,000
10 pound bit weight, we are talking potentially from the lab
11 penetration rates on the order of 75 to 100 feet an hour.

12 This is what the improved carbonado bit looks like,
13 or as we sometimes refer to it, as the double dimple bit.
14 Here we are using typically about four, maybe three stones
15 per carat, even the carbonado bit where the diamond does not
16 have uniform cleavage plains across the surface, but is more
17 like kind of an aggregate of smaller diamonds all inter
18 grown; a very tough diamond. But to get the aggressive
19 cutting structure that we need and to protect the diamond, we
20 have used the matrix here to build up around it to make the
21 bit cut a little more efficiently. But, unfortunately not
22 well enough.

23 We move now to the PDCs, the polycrystalline
24 diamond composite. The one on the right here as 3/8ths inch
25 diameter PDCs. In the one up in here, like this, you can see

1 that the darker area is about 30,000ths of an inch of man-
2 grown diamond on a carbide slug.

3 In this particular design, you notice that the ramp
4 going in behind the PDC is fairly sharp, fairly abrupt. This
5 bit cut quite well, but it also was extremely rough. And you
6 can see the broached diamonds here and here, both on the
7 outside of the bit and on the inside of the bit here and here
8 like so. The ones on the inside dress the core, make it nice
9 and smooth. The ones on the outside hold gauge for the bit.
10 You do not want to wedge into the hole. But up here, if you
11 notice, what we have done is lost one of those PDCs. In fact
12 if you look we have lost one here, we have lost one here. We
13 have cracked one here, we have lost part of one there and
14 part of one here. That is what we mean about impact
15 sensitive.

16 Thermally sensitive, if they do not cool, if they
17 get over about 750 degrees centigrade they fail for you. If
18 you load them, unload them incorrectly, then they will also
19 fracture and fail.

20 These are two of the earlier bits. Once we saw the
21 failure like that and like this for instance, where that back
22 support has been moved away, the fracture like you see coming
23 across here, the load has not worn the edge of the PDC right
24 here, but it has moved the support area back here for the PDC
25 causing failure across here. When you look at a bit like

1 this and you see the same orientation of failure also across
2 this one on most of the cutters there, you say the failure is
3 trying to tell us something. So, the new bits provide as
4 support here a larger and somewhat arched ramp to help us
5 survive.

6 Closeups again. Here you can see the PDC cutter
7 very well. The 30,000ths of an inch diamond grown on the
8 surface. You can see right here a little bit of wear right
9 along the edge of the diamond, but some of them still look
10 fairly good and here is one of the failures over here.

11 Another example, we have lost the PDC here and you
12 can see where the formation now has abraded away the support
13 in behind the PDC and again, this gives you a clue as to what
14 your type of failure is.

15 We are now at the Colorado School of Mines, and
16 what we are showing here is one of the alternating cone
17 reaming bits on the test machine. This is the same diameter,
18 the same set up that we would have on the rig. The equipment
19 is instrumented. Here is a chunk of TSW-2 cast in concrete,
20 bolted to the frame and the bit is in the process of being
21 run into the rock where various parameters are measured.

22 The example here and I am not knocking Dresser or
23 Security, but the bit we asked them to drill is the open
24 center bit so that we can come in and core down through it,
25 delivery time is four to six months. The cost per bit is

1 \$6,000 to \$7,000. And, we ran this bit on the machine we
2 could cut about 50 feet an hour, no matter how well we
3 pushed.

4 Here is a bit that Lang built in about four days.
5 They bought bits that were in inventory around the states.
6 They built the bits. We used this one in the field, and also
7 shipped it into Colorado School of Mines. We noticed a
8 difference in the profile of the bottom of the hole where we
9 drilled into the rock at Colorado School of Mines. Notice
10 the table right up here, we'll back up one. Less well
11 developed table there.

12 Then, while Lang was looking around, he happened to
13 find that gee there was a pretty good inventory in some of
14 these areas of people who had bought bits, intended to use
15 them, didn't get a chance to use them, they were a little bit
16 too small. Being an innovative individual, he said, hey, why
17 don't we turn every other cone, one in and one out. We have
18 the curve then that we can cut. Everybody saved some money.
19 We can buy the bits at a quarter on the dollar versus normal
20 bits.

21 This design violates all of the theory and practice
22 of bit design, roller cone bit design, but it works. We have
23 bands with yellow here. What happens on the left-hand side
24 over here, this is 30 rpm, halfway through 45 rpm. The
25 right-hand side is 50 rpm. On the bits that is supposed to

1 work, no matter what you pushed, no matter how much weight
2 you put on the bits, way in excess of what the bit was
3 designed for, oh well, I'll be generous, maybe 50 feet an
4 hour.

5 The bit that should not have worked cuts like
6 gangbusters. Here it is at 30 rpm, 45 and over here at 60
7 rpm, same load for 20,000 pounds here, no matter what you did
8 the best you could hope for, 15 feet or so an hour.
9 Essentially the same bit with alternating cones flipped
10 around you are drilling 100 feet an hour. An innovative
11 individual.

12 What does the latest product look like? You are
13 looking at it right here. This one is a little weird. If
14 you notice four of them are pointed in and two of them are
15 pointed out. The major work is carried by the four here.
16 These are cutting that inter space next to where we ream. In
17 about another week or so, I could tell you what this one
18 cuts. We have high hopes. And if this one works as good as
19 what we have tested to date, this will be the bit that goes
20 in the first borehole.

21 Now, notice one of the things that I have been
22 telling you as we go along. The bits that we are using, the
23 rig that we are using, the dual wall pipe that we are using,
24 everything that we are using is essentially prototype. You
25 can't go to the grocery store and buy another can of beans if

1 what you are talking about is a drill bit or a coring bit.
2 It is new technology. We are pushing the state-of-the-art.

3 The information, the graphs that I showed you is
4 information that even the people building the bits do not
5 have. We share that information that we pay for that we get
6 by contract from Colorado School of Mines with the bit
7 companies. We have 110,000 feet of core that we have to
8 drill or bore during site characterization. The cost of
9 drilling is quite high as we will talk about in a minute.
10 So, I need a bit that will cut as efficiently and as fast as
11 possible, consistent with the requirements of the PIs.

12 Apache Leap drilling, where did the time go? What
13 we show here in color on the pie chart is the time spent at
14 Apache Leap drilling. Seventeen percent of the time at
15 Apache Leap was spent coring. So, if we look down here and
16 say based on what we have learned to date using the PDC bits,
17 what is the potential improvement that we will get?

18 Well, we ought to be able to at least cut that by
19 half on the core rod trip time going in and out of the hole.
20 We ought to be able to save about 50 percent there.
21 Periodically we pull the dual wall bits to look to the
22 reaming bits to see how they are surviving. So here is the
23 time spent in this and what you see is that I have given you
24 no time over here for the reaming bit. There is a reason for
25 that. I can probably gut feeling right now, based on the

1 testing that has been done to date, say that I should be able
2 to cut that by roughly 50 percent. But until Ozdemir and
3 Friant finish up the test next week or this week, I really
4 won't know what that total savings in time will be.

5 But notice, that even if I save what I show here,
6 and even if I get a 50 percent increase in the reaming cycle,
7 the total time that I saved down here is probably only 20
8 percent or so of the time that we saw at Apache Leap.

9 Now, what makes drilling on the test site
10 expensive? It has already been mentioned. It is union. We
11 pay union rates. It is division of labor and so forth. And
12 so when I bring the LM-300 out or the Stratmaster out and
13 start drilling, this is the crew that I will have on board
14 the rig.

15 Now, if we are running two rigs, then some of the
16 people over here can be schizo between two rigs. They can
17 support both rigs. But, if I am running only one rig, I get
18 all of those people.

19 Lang runs the rig, the LM-300 as they did in the
20 shake down with four people. The people do double duty. If
21 you need an electrician, boom, one of them is it. If you
22 need a welding mechanic, one of them is it. On the test
23 site, I do not have that luxury.

24 The REECO drilling engineering sector and down here
25 this group of people, these are the SMF people, the sample

1 management facility people that take the core as it comes out
2 of ground. Take it into the trailer, do the log in, do the
3 packaging for the people like Alan Flint and so on. One of
4 the things that--I may have one extra person in here. But
5 the other thing that I would share with you is that I may not
6 have enough in there because what we have seen already
7 working at the site on the neutron holes is when I can drill
8 75 feet an hour with the present bits that I am using in the
9 field. These people are really hustling. If I can do that
10 with the 300 or a little better, I am probably going to need
11 twice that many people down here. It takes that long to
12 bring everything in.

13 Here is the infamous drilling schedule that is on
14 the back wall. A question earlier here is what is the cost
15 of doing business? An LM-300 rig running, our Stratmaster
16 rig running, LM-300 is up here the dry drilling, the wet
17 drilling down, the deep holes, the G holes. If I am drilling
18 up in here 24 hours a day seven days a week, REECO and
19 Raytheon costs are a million a month. So, 50 million, 50
20 million, 50 million, and if you did this, you are eating up
21 the better part of 50 million. Especially, when you consider
22 the activities here and here and here, this activity,
23 activity, activity, these are single daylight crews.

24 Now, there is one other thing that I can share with
25 you. The bar right here in 93 shows procurement of a second

1 rig, a second LM-300 style rig, a rig to drill dry. It also
2 shows down here procurement of rigs 3 and 4. So rig 3 would
3 be delivered here and rig 4 would be delivered down here.

4 We have had a bunch of people come in and say,
5 well, now that we have seen them do it, we would love to
6 build the next rig for you. But, when we say how much for
7 the rig? They say, well, ball park plus or minus a million
8 or so, \$4 million and six months to build.

9 If you want to accelerate the drilling schedule,
10 more money here or here does not buy you anything. You need
11 the money back here. You need to order all three rigs. You
12 need to gain the benefit of ordering three of each as the
13 individual buys and builds it, rather than ordering one up
14 here and then a year later two more.

15 What you see here is a shot of Lang's newest rig.
16 It is the LM-300E, E for economy. They also cheat a little
17 bit. Instead of having a 300,000 pound pull back capacity
18 mast here they have this one set up so that they can come
19 down with the draw works, hook on and pull too. This rig is
20 rated for 500,000 pound pull back capacity.

21 What will it do? Well this is up at the Berrick
22 location. They are drilling a water well up there. It is
23 2,000 feet deep. It is 31 inches in diameter.

24 In times past, when they have had the 120 rig up
25 there drilling, the best rate that they had ever achieved

1 drilled to that depth, that diameter, set 20 inch casing, set
2 gravel pack, grout in, completed as a water well, on the pad,
3 off the pad was 50 days. The typical time ran between 55 and
4 60 days. With this rig, 2,000 feet, 31 inches in diameter,
5 20 inch pipe set in the ground driving away from it, 20 days.
6 If all you want at the site is a borehole, we can give it to
7 you and give it to you quick. This is wet. It is not dry.

8 The thing to remember is we are not just drilling a
9 hole. We are providing samples from the mountain as close to
10 the in situ conditions as possible. We are also providing a
11 borehole into the mountain a miniature TBM vertical hole into
12 the mountain, as it were, 12 1/4 inches in diameter, clean
13 borehole wall that the people can look at with a video
14 camera, people can set instrumentation in, analyze in situ
15 conditions in the mountain from any depth within the
16 borehole.

17 Thank you.

18 DR. NORTH: Thank you. That was very interesting. Any
19 comments or questions?

20 Let's see. Bob Luce in the back.

21 DR. LUCE: This is a little bit of a speculative
22 question and it has nothing to do with your very fine
23 presentation here. Since it is speculative, you don't have
24 to answer it. But, I was moved by Bob Shaw's discussion of
25 their performance assessment where they use realistic

1 scenarios. So, I would like to know in your experience, do
2 you know any drillers, and this is perhaps to add a little
3 reality to the Pacific Northwest Laboratory's performance
4 assessment, are there any driller that you can imagine on
5 this rig on any rigs that you have seen in your past that
6 would hit a nuclear waste canister and hang around for 40
7 hours still drilling?

8 DR. CLANTON: There might be some attempt abandon the
9 rig in place. The only way I would see anybody hanging
10 around is if they did not know it was there and they did not
11 have geiger counter or scintillation counter in place. Yeah,
12 they might hang around. But, when they started seeing pieces
13 of steel come up, I would imagine most of the people would
14 start scratching heads and wondering what was going on.

15 DR. LANGMUIR: Are we talking about an act of Congress
16 to change the union control on this system so we could
17 actually get a competitive bid and just the number of people
18 needed to do these kinds of jobs? Does Congress have to do
19 something about it?

20 DR. CLANTON: I will defer to my boss.

21 MR. GERTZ: I think this country has a long tradition of
22 the Davis-Bacon laws for heavy construction and federal works
23 along with the work rules that go with them. So, you would
24 be talking about that. I think there is a history around the
25 country of right to work states and issues like that.

1 Nevada--Tom you know more about the labor laws in Nevada or
2 not. So, it is not only act of Congress but it is state laws
3 too.

4 DR. LANGMUIR: Just for curiosity, so I can be angry
5 about my taxes, how much more is it costing than it should?
6 Is it three times as much?

7 MR. GERTZ: That depends on "than it should". I guess I
8 am not going to answer it, because, how much more does an
9 american car cost "than it should" or something?

10 SENATOR HICKEY: First of all, this is kind of an
11 unwelcome intrusion as you are well aware how many Nevadans
12 feel about it. The unwelcome remarks has to do with what we
13 consider a prevailing wage in an area, which is the state
14 law. That prevailing wage has been set by those workers that
15 are in place at the Nevada Test Site, not located at the
16 Yucca Mountain project. That prevailing wage, happens to, if
17 you wanted to appeal it, you could, but it would come into
18 play at the Yucca Mountain project. I would suggest
19 politically that you are tampering with a very desperate and
20 highly visible subject. And that is why you brought me up.

21 DR. NORTH: Thank you for that illumination.

22 MR. GERTZ: I would like to add something though, based
23 on a real life experience or at least the people that I have
24 talked to in England and I was over there where they are
25 doing the same type of hole. They are going 5,000 feet.

1 They are doing it under what they call regulatory
2 requirements. Full RCRA, full American religious freedom,
3 full archeology type study. It's cost them 10 million
4 dollars to do one hole 5,000 feet deep, 12 inches in diameter
5 and these are using the North Sea drillers, the guys that
6 have done the best oil drilling they can. But working under
7 the regime of a regulatory environment, that is what it is
8 costing them.

9 They feel frustrated with it sometimes, much like
10 when Don and I were talking to the U.S. Senate Committee, I
11 think the U.S. Senate Committee felt frustrated with the cost
12 of doing business in this country. But, it is in accordance
13 with many of the rules we have set up in this country.

14 MR. MCFARLAND: May I offer a clarification perhaps and
15 a question. Isn't the question that Dr. Langmuir raised, one
16 not of prevailing labor rates, but work rules that are
17 negotiated between the contractor REECO and the unions as to
18 the number of the size and loading of the crew on a
19 particular piece of equipment?

20 MR. GERTZ: Certainly, that is part of the collective
21 bargaining agreement that they have worked at. Sure. But,
22 there are other things that require us to add cost in doing
23 business. That is just part of the way we work in this
24 country.

25 DR. DOMENICO: I enjoyed your talk as usual.

1 DR. CLANTON: Thank you.

2 DR. DOMENICO: I gather those rigs belong to the United
3 States of America when we get them, is that correct?

4 DR. CLANTON: That is correct.

5 DR. DOMENICO: Will the be sold when this project is
6 completed?

7 DR. CLANTON: Personal opinion. I would guess that
8 assuming that site characterization finds the mountain
9 acceptable, that there will be a host of questions that will
10 be raised which will require additional drilling during the
11 life of the repository. Part of that activity may be to
12 construct monitoring boreholes around the repository area.
13 In fact many of the boreholes that we are drilling for site
14 characterization, I would suspect may well survive the next
15 100 or maybe 1,000 years or so as a monitoring location to
16 see how the repository is performing over a long period of
17 time.

18 DR. DOMENICO: Thank you.

19 DR. CLANTON: The rigs at some point in time will be
20 obsolete, will become surplus. I know that if Lang could buy
21 it back right now, they would love to have it. They are
22 making money hand over fist with their 300E, making enough
23 money that they have already convinced their parent company
24 to pony up the money to build a second one.

25 MR. GERTZ: Let me just add one other major, not major

1 but philosophy on that. All this equipment is bought with
2 the nuclear waste fund and we are committed to keep track of
3 that property, we do audits of the property in fact we are
4 going to USGS next week to do an audit of all property that
5 they are using. Anything that is sold, and we had sold some
6 from the BWIPP project, that money goes back into the nuclear
7 waste fund. So we keep track of it all and people watch us
8 keep track of it all.

9 DR. DOMENICO: I didn't suggest someone was going to try
10 to steal one of those rigs. I don't think you can do that
11 very easily.

12 MR. GERTZ: I understand. But once again, there is an
13 extensive amount of, not extensive, there is an expensive
14 system just to keep track of the property. We can't
15 commingle it with other federal property.

16 DR. LANGMUIR: I was involved in the activities which
17 led ultimately to the design of these things, at least in the
18 sense that I was party to the problems that the geologists
19 foresaw in trying to find good samples and the geochemistry
20 we are involved in. I would imagine that they are delighted
21 with this, but I would be curious what kind of feed back you
22 have gotten from them on any limitations they see in this
23 equipment in terms of sampling their gas samples, their fluid
24 samples and so on from those holes, the rock samples. Are
25 they totally delighted in every sense or are there any

1 problems that were made?

2 DR. CLANTON: For the most part, the people that I am
3 aware of are super happy with what we have developed. The
4 big unknown really is how long is it going to take to drill
5 the boreholes? And, at the moment, the only people that I
6 know of that have some "concern" about the dry drilling that
7 we are planning to do are those people who have just written
8 in and said we would like the borehole to be within a one-
9 quarter of degree of vertical.

10 Now the 9 5/8ths dual wall string is exceedingly
11 stiff, as you would guess, pipe within a pipe. It will
12 deflect, but not like the convention oil drilling rod and so
13 on like this. Consequently, about the best that we can do
14 is set up the rig initially, set the surface casing, and
15 point the drill in the way we want it to go. We do not have
16 the capability either space or equipment with this dual wall
17 system to do any directional drilling.

18 The people have indicated that they can probably
19 accept the borehole up to 3 and maybe 5 degrees off vertical.
20 But they would like to be as close to vertical as possible.
21 That is the intent we will try to give them that
22 information.

23 In fact, what we have already discussed here, the
24 low bit weights, the high rates of penetration, both of those
25 in coring and in reaming should insure a straight hole.

1 We have one experience at Apache Leap where we
2 drilled and then ran a deviation log at the end of the
3 borehole. We were 16 feet off from vertical at 1,700 feet.
4 And when you looked--when you plotted back the survey, we
5 started crooked at the top. We started about that far off
6 center at the surface casing. And what we saw is in effect
7 is the initial deviation was essentially maintained to depth.

8 So, the borehole the people seem to be very happy
9 with. We ran a video in the borehole at Apache Leap. It
10 looks magnificent. It looks like a borehole. You can see
11 the fractures in the wall. You can see the lithophysae, the
12 fragments of wall rock that are stripped and dumped into the
13 Ash Flow tuff. You can take the core. You can take the
14 video. You can lay it out and it is just one for one right
15 through it.

16 DR. LANGMUIR: One more. Do we need tunnel boring
17 machines? Can we just get a big enough one of these guys, of
18 course you can't make it horizontal. What is the largest
19 hole you can make going straight down with a device like
20 this?

21 DR. CLANTON: The limitation on the rig is five feet. I
22 am serious. Five feet in diameter. The hole in the floor is
23 five feet. We could put a five foot bit on it if necessary
24 and drill a five foot hole. We do not have the bits. But,
25 at 31 inches Lang is already getting close. But again, they

1 build up a roller cone bit. It is not a tri-cone, it is
2 about a 20 or 30 cone bit. It is wet, but they are moving
3 down.

4 DR. CANTLON: Is there some thought about some
5 modification of this bit configuration for the emplacement
6 holes? Dry drilling of the emplacement holes?

7 DR. CLANTON: At the moment we have not considered that.
8 My cup runneth over already. And, I haven't been looking
9 for other problems to solve. But, certainly, when this is
10 developed there is a high probability.

11 The interesting thing that comes out of this and I
12 have talked to Ozdemir and so on, it looks like what we have
13 learned. And the thing that continues to surprise, me the
14 bit companies, the people that make their living selling bits
15 don't have the information that we are currently getting.
16 One would take a look at based on what we know now and the
17 tri-cone bit that is kind of the standard of the industry
18 since the turn of the century almost, it says if you really
19 went back in there and looked at that and maybe did a little
20 reshaping on those tri-cones, you might have a bit that blows
21 the competition totally out of the water.

22 The center of that bit, if the point of those cones
23 does not cut well for us, then it is not cutting well for the
24 oil industry. Now, what do you want to do? Drill fast?
25 Sell bits?

1 DR. CORDING: Are you with the LM-300, will that be
2 doing all of the drilling, or are you still going to use the
3 120?

4 DR. CLANTON: No. The 120 that we have, we do not have
5 a 120. That belongs to Lang. Lang has two 120's. They
6 built the first 120. We had it under contract, drilling,
7 trying some of the techniques. They saw what it would do.
8 It opened up a totally new market for them that no one else
9 was in, and they built a second one. The same way
10 they built a 300 for us and saw what it could do and they
11 built one then, a smaller skid mounted rig for them.

12 If we need to accelerate the drilling program, one
13 of the possible ways we could do it would be go back to Lang
14 and contract with them to bring their equipment, their rigs
15 on board and do contract drilling for us. But the plan at
16 the moment--well, we probably have a tough decision to make
17 in '93. Considering the limited resources that we may be
18 dealing with, what makes the most sense? Contract out for
19 drilling, or order the second rig? Or, is there some
20 innovative way where we can order three rigs, but not pay for
21 two of them until the following year.

22 DR. CORDING: Are you ready for production with the 300,
23 or is there more prototype testing to be done? Where do you
24 stand? What will it take to get it to being--getting the
25 rates you think it should be doing there?

1 DR. CLANTON: The rig should be on the pad now, the UZ-
2 16 pad now. The total depth of drilling that we have done,
3 either with the 120 or the 300, is about 5,000 feet. About
4 3,000 feet of that is hammer drilling. And in particular,
5 what I am referring to here is the use of a bit that is
6 normally used in mining to produce cuttings for analysis.
7 Where is the ore? What is the grade. So, this bit just
8 beats a hole into the rock. That is the normal one that is
9 used dry. I use that term loosely. A certain amount of
10 water, mist, mud, foam goes down the hole during that.

11 The last borehole that we drilled in Utah at
12 Berrick-Mercer was a 2,000 foot borehole. The primary
13 purpose of that borehole was to shake down the LM-300 rig,
14 check out the pipe handling system to see if there was a
15 problem with the equipment. So, about 3,000 feet and maybe a
16 little more of the total 5,000 feet of drilling that we have
17 done, has been the hammer bit, hammer hole.

18 We probably have roughly 2,000 feet of drilling,
19 where we have used some combination of the reaming bits and
20 coring bits that we have looked at since the early part or
21 the late part of '88. We will probably start site
22 characterization with prototype bits, the 42 bit that I
23 showed the picture of, with a few feet of experience. This
24 is in the test fixtures at Colorado School of Mine.

25 If I had to pick one today, and that is about where

1 I am, the bit that we have been running with Alan Flint, we
2 have a total of about 200 feet of drilling with that bit, and
3 that is the bit that in the ODEX system is giving us about a
4 penetration rate of about 75 feet an hour. Those would be
5 the two bits that I would start site characterization with.
6 Please realize that both of those bits are still prototype
7 bits. They are not off the shelf items. If you want one,
8 you go to the appropriate company and say build one. None of
9 the down hole tools, drilling, reaming, coring are off the
10 shelf items.

11 Did I answer your question?

12 MR. GERTZ: The bottom line though we intend to start
13 the end of April with that equipment and those bits and we
14 will see how it goes.

15 DR. CLANTON: I have my fingers crossed.

16 MR. GERTZ: But, isn't that right Uel, you are going to
17 start in April when we have our last injection well permit.

18 DR. CLANTON: But with the same token I mentioned
19 earlier when we were talking about the double dimple bit, and
20 I said I was not yet ready to abandon that design. There is
21 a high probability that the coring rod that we use, that we
22 were using right now, will buckle, will flex, because it is
23 running kind of naked in the hole. It is inside the six inch
24 pipe, but it is just sitting there rattling and flopping
25 around. We do not have mud in the hole to dampen that

1 vibration. When we have out say 1,500 or 2,000 feet or maybe
2 even 1,000 feet of that core rod, you may get one or two
3 turns upon on one end before the bottom end knows it is
4 supposed to turn.

5 The concern that we have, both from the consultants
6 that we have had in from the drilling industry and the bit
7 companies is that bit may wind up. It may buckle. It may
8 jump up and down in the bottom of the hole. And all it is
9 going to take is about one hop in the bottom of the hole and
10 I may not have any PDCs left on the bit. So, at the moment,
11 for insurance, I am continuing to carry the double dimple
12 design kind of on the back burner, because I may have to use
13 that bit. I may have no choice except to use that bit at
14 deeper depths.

15 Now there is some new technology, the thermally
16 stable diamonds that are on the market. They are a little
17 tougher. But they have a problem. The thermally stable
18 diamonds you take in effect, that man-grown diamond layer
19 there, actually it is a little thicker than that, and you
20 remove the cobalt that is used in the growing process, and so
21 the diamond is not as temperature sensitive. Or the diamond
22 is the same, the matrix in the diamond is then removed and
23 the diamond that is left is not as sensitive to the expansion
24 contraction of the extraneous material included in the bit.

25 There is some new technology developed by

1 Christiansen, this is Eastman-Christiansen, the oil field
2 side of the house, that takes these little triangular pieces
3 of diamond and forms them into a larger cutter, somewhat like
4 the PDCs you see there. The smallest ones they normally make
5 are about a half inch in diameter. Based on about 25 or 30
6 PDC bits that we have already gone through at about three
7 thousand a copy, we will have to go back to those people to
8 use those bits and get them to do, once again, a prototype
9 bit where we can get the little TSD composite built at about
10 a quarter of an inch. We have done enough testing to date
11 that we know that to get the core that we need, the quality
12 of core we need, that the cutters are going to have to be
13 somewhere around quarter of an inch.

14 Now if you come back to me in two months or six
15 months and I tell you hey, we are at a half inch or something
16 else, please realize that we are on the leading edge of the
17 technology right now. We are running the PDC bits orders of
18 magnitude better than the people building them thought they
19 would ever run and survive. Wet, in an oil-based mud; that
20 is the preferred way to do it. We are running they dry.

21 DR. DEERE: This D. Uel Deere, with a question for Uel
22 Clanton.

23 DR. CLANTON: We share the same name.

24 DR. DEERE: And I have heard of it three times now, the
25 other is my father.

1 The question I have is perhaps more of a comment.
2 You said that you would have think about the possibility of
3 whether you would want to buy the rig or maybe to lease the
4 rig or actually go out for contract.

5 I would like to offer a recent experience, a very,
6 very short one. Three contracts were let. One for over 100
7 kilometers of drain hole drilling up to 200 meters depth.
8 One for driving 25 kilometers of tunnel. The other one for
9 about a \$50 million grout curtain. It was international
10 bidding, and the winners of the bids, one was from Italy, one
11 was from France, and the other was a combination of Italy and
12 New Zealand.

13 The interesting thing was they started working,
14 they worked for about three or four or five months. The new
15 construction manager was very keen on the target estimate
16 type of contract. And since claims were starting to develop
17 and progress was slow in some areas and fast in others, he
18 said, I am going to renegotiate the contracts. He asked the
19 board of consultants for their advice. Their advice was it
20 will be impossible.

21 But, the bottom line is, they renegotiated every one of
22 those three contracts and turned it into a target estimate.
23 The reason it was easy to do, the contractor now knew what
24 his costs were. He now knew where he was really low on some
25 of his bid items and really high on others. And also the

1 owner knew that by now.

2 So they were able to get together and roll in all
3 of the claims, all of the low bids into a new price from then
4 on. If they did it cheaper than that target, the contractor
5 got two-thirds of the savings. They were able to negotiate
6 first one and then later they renegotiated the other and then
7 the other. I might add, all three contracts are now being
8 finished well ahead of schedule with only one minor claim.

9 It worked out extraordinarily well. That was in New
10 Zealand.

11 DR. CLANTON: The situation that we have is, if we had
12 to drill, if we wanted to bring in another contractor, it
13 would have to be Lang. Because, the equipment to do dry
14 drilling the way we have defined it now, that capability
15 essentially does not exist with any other company.

16 DR. DEERE: But he also has the capability that he knows
17 what he can do now. He knows what the rigs can do and you
18 might well benefit.

19 MR. GERTZ: Dr. Deere, let me point out an element of
20 our contracts with REECO that maybe no one is aware of. They
21 are on a cost plus award fee contract. So, if they can
22 reduce cost or we give them certain milestones or we can say
23 we know how long this takes, now if you get done sooner or
24 quicker, or something like that, you will get a certain
25 amount of your award fee pool and I as the project manager

1 get to make that decision. We do have an incentive. So, I
2 don't want to leave the Board with the thought that because
3 it is a cost contract there is not cost incentives to save,
4 because there certainly are for the company to do that. And
5 there certainly is for us as project managers.

6 DR. NORTH: Okay. Anything further?

7 MR. MCFARLAND: One question, if I may. Cost
8 reimbursable award fee is different from a cost reimbursable
9 incentive fee. What Don was talking about is a formula
10 before you start, the award fee is after the fact.

11 MR. GERTZ: I understand, the award fee based upon their
12 performance.

13

14 MR. MCFARLAND: One question. In Apache Leap, there was
15 a question with regard to the HQ versus PQ and you mentioned
16 earlier in the presentation that you were tripping on the
17 core at 10 foot intervals, which I believe was with a small
18 2.4 inch HQ core. You were tripping, I think at 40 feet with
19 a larger 3.3 inch PQ core. Have you tried to analyze the
20 benefits of the larger core versus the smaller core in terms
21 of the drill performance, the drilling time and perhaps the
22 quality of the core you are bringing out?

23 DR. CLANTON: The testing that we did at Colorado School
24 of Mines used some of the equipment that was used at Apache
25 Leap. So, yes, we have run the 12 1/4 bit with a six inch

1 diameter hole and with a four and a half diameter hole in it,
2 the HQ/PQ core. Those numbers are available.

3 The thing that perhaps drives the core size is a PI
4 requirement. Primarily, Al Yang has his triaxial press
5
6 already built and sitting there. He can squeeze the 2.4 inch
7 diameter core and get the water out of it. And if you
8 remember running the numbers, when you go to 3.3 the
9 squeezing mechanism kind of goes up exponentially.

10 There could be some possibility to center punch a
11 larger diameter core, get the 2.4. In discussions that we
12 have had to date, he does not prefer to do that. Any
13 processing, reprocessing, recording, he thinks will modify
14 the information that he gets to the point where he begins to
15 wonder what he is measuring.

16 Now there is one other consideration. When we were
17 at Apache Leap at about 1,600 feet or so, we twisted off a
18 101 core barrel. And I have been back to the USGS people and
19 said, people, I am between a rock and a hard place. The
20 first borehole when we get down 1,500 to 1,600 feet, if I
21 start twisting off that 3 3/4 inch core rod that I have, if I
22 start having repeated failure on that 101 system, I may not
23 have any other choice.

24 Now, that is not totally correct, because I have
25 Bill Mitchell out of Colorado School of Mines now, working

1 with us. He is analyzing the tools down hole, the drill
2 string buckling, flexing vibration and will come back to us
3 hopefully in a few months and make some recommendation. I am
4 99 percent sure right now that what I should do is go out and
5 buy some thick walled, four inch diameter rod from the oil
6 company, bring it in and have the mining style threads cut on
7 it and put that in the hole.

8 That may not solve all of the problems, but at
9 least it would give me a much stiffer tool that may not
10 buckle as rapidly. If I have a vibration such as the bit
11 does not maintain contact, if it bouncing like this, either
12 from a buckling movement or from vibration in the drill
13 string, I will probably destroy the PDCs.

14 Now we are working again with Eastman-Christensen
15 in contrast to the mining Christensen, the Boyles-
16 Christensen. They have a new concept that they are pushing
17 where they--the backing. They take another carbide slug and
18 brace it on behind the carbide slug that has the diamond
19 grown surface and they have gotten a tougher design that
20 survives better.

21 We are turning 60 rpm. They normally like to turn wet
22 200 to 400 rpm. The thing that may work for us, we core in
23 ten foot intervals. If we can keep the borehole straight
24 coring, then maybe we can core 50 feet before we pull the rod
25 or the 60 feet before we pull the rod. And the time we save

1 then in running the rod in and out of the hole, could be
2 quite significant. We are going to have to learn that on the
3 first borehole.

4 DR. NORTH: It is time for a coffee break, I think.
5 Let's try to make it about 15 minutes.

6 (Whereupon, a break was had off the record.)

7 DR. NORTH: Okay. We are all set. As soon as Carl gets
8 his mike hooked up.

9 MR. GERTZ: Dr. North, we are ready to go, I guess?

10 DR. NORTH: Ready when you are.

11 MR. GERTZ: Certainly, I can make sure all my employees
12 are here because they work for me. That's easy. And most of
13 the contractors can be here because they are all on award
14 fee, so I can arbitrarily grade them. So, I am always sure
15 of getting most people here.

16 I do want to point out Russ brought up an element,
17 when we call it contract and award fee, it is a perspective
18 approach, because we set up a plan and goals for the next six
19 months or so for each contractor and we grade them on how
20 they met those plans and goals. So, it is not just grading
21 performance in the past. It is setting up a plan for the
22 future. We have Raytheon on that. We have REECO and also
23 the M&O contractor will be starting after the first year on
24 award fee.

25 DR. LANGMUIR: What do bad grades give result in?

1 MR. GERTZ: No fee.

2 DR. LANGMUIR: No fee?

3 MR. GERTZ: No fee or very low fee. One or the other.

4 So, it is an incentive that the department has used very
5 successfully I think in achieving performance from cost
6 contractors.

7 DR. NORTH: What is the range of fees? I mean, what do
8 A pluses get?

9 MR. GERTZ: About 90 percent of their pool. The pool
10 depends upon whether you are a construction contractor or an
11 architect contractor or a research and development
12 contractor. The contracting officer has different ranges
13 from two percent of the expenditures to 10 or 12 percent of
14 the expenditures depending upon what kind of work you are
15 involved in. You have about now exhausted my knowledge of
16 procurement practices.

17 I will tell you that the scientists and engineers
18 have to spend some of their time setting up the plans for the
19 contractors and then grading them on those plans. You know
20 that involves Russ and Uel and the people who work for them.
21 So, they are involved in setting the goals for the people
22 that are doing the work for them and evaluating them.

23 DR. NORTH: Are they written evaluations?

24 MR. GERTZ: Yes, sir. Written evaluation and they are
25 open to the public, so if the public asks we can give them a

1 written evaluation of how we graded our contractors.

2 Okay. We are ready to go I think. What I am going
3 to talk about is the status of permit applications, because,
4 despite what you heard about the good work we are getting
5 ready at UZ-16 and the drill rigs being ready and everything
6 else, we have to have a certain suite of permits to do work.

7 What I am going to talk about today is give you a
8 quick example of what a process is like, what we go through
9 with the state agencies to obtain certain permits. Talk
10 about our general needs. Talk about what we are going to
11 need for the ESF. Just point out some recommendations that
12 we are all trying to adhere to so this process goes smooth,
13 so the science and engineering get done. Talk about the
14 status of legislation because we have some legislation that
15 is front of Congress now that addresses this issue. And I'll
16 have as back up for you some additional permitting status.

17 Wendy Dixon works for me and manages this process
18 for me. I am giving the presentation in lieu of her. She is
19 really trying to get permits for us right now.

20 But, let's talk about the process in general. The
21 scope of work that Uel, Russ, Bill Simecka do is develop from
22 the site and engineering categories. They compile information
23 and provide it to the people who are going to go to the state
24 with the permit application. Examples of the information
25 involve the purpose of whether it is a drillhole or a road or

1 a pad, the location, design, the acreage, schedule, water
2 requirements, what kinds of tracers, whether it is gaseous or
3 liquid tracers including the material specification data
4 sheets that go with it. Once we get all that data, we then
5 start what we call our informal consultation with the
6 regulatory agency; whether it is a state water engineer,
7 whether it Department of Natural Resources, whatever that
8 state agency is, we go up and talk to them about it.

9 We prepare and submit then the permit application
10 based on our informal interactions with them. The agency
11 then reviews that application and gives us some comments.
12 They say, gee, we told you about this beforehand and you
13 didn't put in the application, or something like that. We
14 respond to those comments, we being the applicant. The
15 agency then says, yes, we now think your application is
16 complete and they will issue a notice for public comment. In
17 other words the permit goes out for public comment if
18 applicable, depending upon the state regulations.

19 DR. PRICE: Carl, excuse me. Just a quick one. On the
20 MSDS sheet, was that material safety data sheets that you are
21 talking about?

22 MR. GERTZ: Yeah. Did I say specification? It's what
23 you have for those different tracers. I don't know whether
24 it is safety or specification.

25 DR. PRICE: Safety.

1 MR. GERTZ: Safety. Excuse me.

2 The agency depending upon the particular permit may
3 or may hold public hearings. It may depend upon the amount
4 of comments it gets on our application. The agency then
5 makes a final decision. That final decision is to grant us a
6 permit or reject us the permit. If they grant us the permit
7 it specifies the conditions for compliance and they can put
8 in a time limit. A time limit for starting, any operational
9 limits, monitoring conditions, reporting conditions; whatever
10 is required. So that is kind of the process that we have
11 gone through on many, many permits or permit modifications.

12 Let's just talk about general needs. Activities
13 that require these kind of permits can proceed right now at
14 Yucca Mountain. Land disturbance can proceed. We received
15 that in 6/91. We have our water appropriation from J-13,
16 3/92. We have a BLM--

17 DR. ALLEN: Excuse me. This is Clarence Allen.

18 When you say land disturbance you mean for specific
19 projects, specific disturbances, not a general one.

20 MR. GERTZ: No. We have a general one right now that
21 includes those so many acres and includes our plot plans as
22 we knew them when we put them in.

23 This particular one is a clean air act permit and
24 it is for disturbance. If you are less than five acres, you
25 didn't need a state permit. The state determined that

1 because of the accumulative effect that we were doing a while
2 ago, we were well over five acres, so we needed a permit for
3 our entire program. So we have laid out our entire program,
4 as we knew it that time, and received a permit for disturbing
5 some amount of acres. It might even be 400 acres. I don't
6 know what it is in different areas.

7 Now, much like all these permits as our designs
8 change, we are going to go back in and modify it like a mine
9 does or any industrial agency does. We are going to be
10 continually modifying these permits. But, it wasn't hole by
11 hole or place by place. It was a general permit with the
12 specifics inside of it.

13 Water is the same thing. We anticipated our amount
14 of water and went through a water appropriation hearing. We
15 had tracers, part of underground injections. Our first
16 permit was only for the C-Well complex and for a suite of
17 tracers that those scientists thought they were going to do
18 in C-Well. As part of the underground injection permit, we
19 wanted to add some gaseous tracers and do it in all other
20 holes. The negotiations went on with the state where
21 initially they said maybe for each hole we are going to want
22 to see a tracer and give you a permit. They more recently
23 have said, no just 50 holes at a time. So we have a permit
24 under consideration for UZ-16, our first hole that is part of
25 the first 50 holes. So it is a negotiated process with the

1 state agency. And for the LM-300 for diesel
2 engines we needed a permit for a point source of emission for
3 the diesel engines. So that's things we have in place right
4 now.

5 And therefore, these kind of activities could
6 proceed: geophysical surveys, trenches, test pits, Alan
7 Flint's holes of course, are proceeding because he is not
8 using a gaseous tracer in the shallow boreholes. We can do
9 roads and pads. We just completed UZ-16. Pavement studies
10 can be done, meaning the geologic pavement studies and the C-
11 Well hydrologic tests could be done with the permits we have
12 in hand.

13 As an example, we were talking about this is the
14 pad for UZ-16, the drill rig as Uel said I think is out there
15 today. We will be drilling off that pad near the end of the
16 month. The only reason we are not drilling a lot sooner than
17 that is we are waiting for the final underground injection
18 permit because we decided to use gaseous tracers in the first
19 part of this hole different from the underground tracers we
20 had approved before.

21 DR. LANGMUIR: Carl, Langmuir. You had an overhead a
22 couple back which had to do with conditions and compliance.
23 Do you define those or do you have to negotiate them in terms
24 of the amount of time that you are allowed for a test, for
25 example or when you can start it and when you must finish it?

1 Is this something--

2 MR. GERTZ: Well, we put in our request and the state
3 may say, gee, that's too long or we don't want to give it or
4 you have to renew after eight months or after five years or
5 whatever.

6 DR. LANGMUIR: Has that been a stumbling block for you?
7 Has that been an issue?

8 MR. GERTZ: We hope not. Up to this point in time, once
9 the lawsuits were over about whether it was legal within the
10 state laws to proceed with site characterization as the
11 Supreme Court said it was and that national law preempted
12 state law in this case, the state has been acting in a
13 responsible manner, the governor has. And, the state
14 agencies have been exceptionally professional in their
15 processing of these activities. So, I would say they have
16 been reasonable at this time. Certainly we do live in a fish
17 bowl with the Yucca projects, so they are very careful that
18 all the "I's" are dotted and all the "T's" are crossed. But
19 state agencies dealing with these things have been
20 exceptionally professional. I think the governor has
21 certainly been responsible since the court cases have been
22 decided.

23 But you are right, they could put in some
24 restrictions on that that would make it difficult for us.
25 They haven't at this time.

1 I'll just go back. Initially they did and I'll get
2 into one or two of those. Such as, our gentlemen that were
3 handling Desert Tortoise. Initially they said if he was
4 working on the Yucca Mountain project, he couldn't handle
5 Desert Tortoise. His permit was lifted, his handling permit.
6 But he could do it if he were working on the test program,
7 the nuclear test program. But that was all part of the
8 initial law whether we were legal to be there or not. And
9 that I think has gone by the side.

10 Anyway, that drill rig will be on that pad I showed
11 you shortly. That involved a suite of permits just to put it
12 in perspective drilling into the water table requires a
13 waiver from the state engineer on water wells, because if we
14 are going into the water table, we have to tell them what we
15 are going, and we are going to have to say, we are not
16 pumping water out of that, but provide us a waiver. And he
17 did. It involves an underground injection control permit for
18 the tracer and a discharge approval if you are going to go
19 into the water well and put some water out, you have to get a
20 discharge permit. These kind of holes are going into the
21 water table and that is what we'll need.

22 Drilling not into the water table, such as Dr.
23 Flint has been doing and we have completed eight or nine of
24 his holes right now, we needed a permit for tracer. That is
25 not right, because we didn't use a permit for tracer there.

1 But neutron boreholes, NRG, SRG, we are okay. Actually this
2 here gaseous tracer should have been up there.

3 DR. LANGMUIR: Carl, Langmuir again.

4 A few years ago a geochemist would have loved to
5 have used radioactive traces. They don't have to interfere
6 with the site and they would be very, very useful, but
7 weren't not allowed to. Is that still an extant regulation
8 now, no radioactive traces can be used?

9 MR. GERTZ: We have not applied for the use of
10 radioactive tracers. Russ, do you know, have we made a
11 policy call on that?

12 DR. DYER: I don't think there is a policy call. The
13 stipulations as I recall is that you need to have 100 percent
14 recovery. That is not our requirement.

15 MR. GERTZ: When you talk about permits for the
16 exploratory studies facility, here is the kind of suite we
17 require in November when we start our earth work activity.

18 We have to have our air quality disturbance permit
19 and of course we have that.

20 We have to have our water appropriation to keep the
21 dust down. We have that.

22 We have to be able to use gravel. We have some
23 gravel from some soil pits but we would like to use better
24 soil pits and we have to get those permits.

25 We have to make a flood plain assessment and we are

1 well above the flood plain.

2 We have to get our underground injection control
3 permits for the tracers we use, gaseous or liquid. We have
4 to make sure that we have a storm water discharge permit,
5 because we will be having a pad. It rains on the pad and the
6 water flows into the environment and we have to make sure
7 that we are complying with the discharge requirements.

8 DR. ALLEN: Carl, Clarence Allen again.

9 MR. GERTZ: Yes.

10 DR. ALLEN: Over at the test site, do they have to do
11 the same sort of thing?

12 MR. GERTZ: The test site does now have to do the same
13 sort of things. In fact, they got 72 permits in the time we
14 got none and were asking for one or two or three. So the
15 test site has to get the same suite of permits. The state
16 has a little different ground rules with their activity than
17 ours.

18 Air quality point source, when we start a concrete
19 plant or gravel plant, we have to get those type of permits,
20 landfill permits, drinking water, sewage treatment, effluent
21 discharge, ponds, all the kind of things that a normal
22 construction project has to work with that. And that is the
23 kind of dates we are needing them for the ESF.

24 Now the state, as I said, has been responsive.
25 They have provided us our three major permits, a suite of

1 minor permits at this point in time, and we assume that
2 process is going to continue, so as a result we are trying to
3 work with the scientists and engineers within the project to
4 now even expedite the project from our point of view. Make
5 sure that we know what we are going to do in the future and
6 make sure that the detail criteria is available so the
7 permitting people can go to the permitting agencies with the
8 right data and line up a suite of site characterization
9 activities that can be done with our existing permits, so in
10 case there is some delay in the process for either inadequate
11 information or a lengthy public hearing that we can have an
12 ability to do work out there.

13 I'll update you on litigation. I had litigation
14 involved around these permits. One of the first lawsuits
15 went all the way to Supreme Court, and that I believe, is now
16 closed for all intents and purposes. A second law suite we
17 have asked for dismissal, which said please state follow your
18 own laws and issue the permits and that there is no longer a
19 reason not to issue them. There original reason not to issue
20 them was their state law prohibiting a repository.

21 In the last year, the state did issue the three
22 major permits. The governor has indicated they will be
23 handled with their merits. He is going to make a good faith
24 effort to do that. As I said, the state agencies have been
25 professional in the activity all along. The one that we have

1 received, the major ones were the air quality permit, the
2 underground injection control, the water appropriations.
3 Other incidental permits, LM-300 diesel engines, actually the
4 overweight permit that you saw, we had to get an overweight
5 permit to bring it on site, which isn't even on this list.
6 Permit waiver for holes JF-3 and UZ-16 and additional permits
7 and permit modifications, including modifications to all
8 these will be requested as we get more data. That is what we
9 see the normal process.

10 However, there still is Congressional legislation.
11 In fact one law that in effect preempts the state
12 permitting, one proposed law that in effect preempts the
13 state authority passed by one committee 42 to 1 in the House
14 as part of the National Energy Strategy. It was originally
15 included in the President's proposed National Energy
16 Strategy. As I said, the House and Senate have various
17 options that they have passed. And it is up to the House and
18 the Senate leadership as to what will be determined the next
19 steps.

20 Certainly, I am asked and asked by the governor at
21 times, well, we are acting cooperatively, why don't you
22 withdraw your support for this legislation? We don't know
23 preemptions anymore. The state is going to be responsive.
24 Well, certainly the governor has been professional and the
25 agencies have been professional. But, who knows what a new

1 administration in the state would do.

2 I'll just point out to one recent election in North
3 Dakota where three county commissioners that asked for an MRS
4 grant of \$100,000 to help study the economic benefits of an
5 MRS in their facility, they all lost in a recall election by
6 2 to 1 just less than a month ago. So, under a scenario that
7 a new attorney general or a new governor may say, I can stop
8 the program with a new legal theory, I think it is incumbent
9 on me as project manager and on the department to assure
10 science can go on uninterrupted for ten years. So,
11 therefore, we still support this kind of legislation and it
12 has no reflection at all upon the current state's position.
13 We think it is the appropriate thing to do for future
14 activities.

15 As we talked about, we are going to demonstrate
16 resolve to move on with studying Yucca Mountain. And that is
17 really what the '87 Amendments Act and the '82 Act says, see
18 if Yucca Mountain is safe; see if it is suitable. We don't
19 want to go through continued litigation. We would prefer
20 some legislation to assure that these permits can be
21 obtained. But, permits without appropriate funding doesn't
22 do us much good either, so I do want to remind you without
23 all three and permits one of them, this program could become
24 stalled. We won't be addressing the existing environmental
25 problem, the National Energy Strategy of keeping nuclear

1 option open may not be that part of the energy strategy may
2 not be viable.

3 I won't go through all these, but I have some
4 sections in the back and one of them is called the Federal
5 Permits. And the Federal Permits that we deal with, and I
6 will just point out a couple are the Federal Land Policy and
7 Management Act, which included our land withdrawal and our
8 right of way for characterization. The Endangered Species
9 Act and Clean Water Act, and there is some nationwide permits
10 and there are some other things on there.

11 There are some other state permits that are
12 required by flowdown. That is some of the ones we have been
13 dealing with including the Clean Air Permit, which talked
14 about disturbance of land activities. Just Air Quality
15 Registration Operating Permit for things like Batch Plant,
16 Portal Vents or LM-300s.

17 There are other state permits that are required by
18 Nevada law and exclusively Nevada law. And that is things
19 like Groundwater Appropriation, Water Pollution Control,
20 Sanitary Sewage Disposal, etc.

21 The other ones are in there for your information.
22 I would just like to point out the last page which are what
23 we call Ancillary permits that we have been working with the
24 state agencies all along, whether it is the animal handling
25 one that I talked to you about for an archeological

1 collection permit, or well drilling or chauffeur's licenses.
2 There are lots of things that we do with the state all the
3 time. Right now we see no problem working with Nevada and we
4 are pleased to be out in the field working and drilling and
5 building pads. We just hope we can continue that operation
6 in the future.

7 I'll take any questions you might have. There are
8 many more details that are in there.

9 DR. NORTH: It's good to hear that all those problems
10 that we heard so much about in the early years of the Board
11 have been put to rest.

12 MR. GERTZ: We think so. I am not trying to be cynical,
13 but certainly the governor has acted responsibly as I said,
14 but did he act responsibly because he believes Yucca Mountain
15 should be studied, or did he act responsibly because there is
16 a legislation pending that may strip the state of all its
17 rights and there is litigation that said, please issue the
18 permits. Right now, his point has been I am making a good
19 faith effort and I'll take it on faith. But, I want to sit
20 that aside from the professionals we work with in the state.
21 The state engineer and the Department of Natural Resources
22 have acted very professionally each step of the way.

23 DR. NORTH: Any questions or comments from the Board?

24 MR. GERTZ: Senator Hickey has a comment.

25 DR. NORTH: Okay, Senator, we would welcome your

1 thoughts.

2 SENATOR HICKEY: Thank you for allowing me a few more
3 minutes.

4 I would kind of be remiss as a legislator who is
5 involved in the Sage Brush Rebellion in dealing with state
6 rights and those issues. Just to point out to you, I was the
7 swing vote in the Senate and it was done by one vote that
8 dealt with objecting to the location of Yucca Mountain. That
9 tells you how flexible our legislature is. We have
10 been very protective of our rights, particularly with water,
11 EPA and those standards as set by the state rather than on a
12 national level.

13 I know I did not agree with the tactics that our
14 state took, but so be it. It was settled by court. And as
15 you realize and as was testified here by Carl, that the state
16 acted in a responsible manner and I was pleased to see that.
17 Carl, I am pleased with your comments.

18 I think you have a position maybe that DOE, and I
19 have always questioned whether they weren't too political,
20 but I would address the Board, and I don't think this is an
21 issue that the Board should take up, because it is a
22 political issue. And I think your issues are in other areas.
23 I wish I could convince DOE that they shouldn't be in these
24 political issues.

25 That is my only comment.

1 DR. NORTH: Thank you. I think the Board is eager to
2 stay away from the political issues and concentrate on the
3 technical ones.

4 SENATOR HICKEY: I don't have my gun.

5 DR. PRICE: If you would permit us, we would like to
6 stay out of political things. We need a permit.

7 DR. NORTH: Are there any other questions or comments on
8 this section of the agenda?

9 We now have a section entitled discussion. I know
10 we have at least one person that wanted to make some comments
11 based on the two day meeting.

12 Charlotte Abrams.

13 MS. ABRAMS: Well, I want to take us back to performance
14 assessment. I know everybody is interested in permits and
15 drilling, but I want to take us back to performance
16 assessment for a minute and comment on the first talk this
17 morning. I think maybe I am being a little over sensitive,
18 but I want to point out a couple of things about the NRC's
19 performance assessment.

20 I guess I am disturbed that it was used in a
21 comparative way with the other performance assessments. And
22 I want to point out that the NRC's performance assessment was
23 really a limited effort by a limited number of people. And
24 it is simply an effort for the NRC to gain the capabilities,
25 and by that I mean the skills and the tools to conduct their

1 own performance assessment. We don't want to be in the
2 position of getting out ahead of DOE on this. It is not our
3 intention in any way to put a performance assessment on the
4 table. We would be doing DOE's job for them. We just want
5 to develop the capability to be able to do an intelligent
6 review of DOE's performance assessment.

7 That is really all I had to say.

8 DR. NORTH: Thank you for that comment.

9 That was clear to me, having attended a number of
10 meetings on the NRC performance assessment, but I think it is
11 very good to get it in the record and make sure that the
12 Board collectively knows that NRC's exercise was really
13 intended, shall we say for demonstration and educational
14 purposes as opposed to anything beyond that.

15 Nonetheless, I think there are a number of
16 interesting issues raised by the comparison and I am glad
17 that was presented. I hope those issues will be continued.
18 In particular I think questions having to do with the
19 infiltration rate and the definition of drilling scenarios
20 for human intrusion are clearly deserving of being on the
21 agenda for further study. So, I hope as time goes on there
22 will be a good deal of additional comparisons between the
23 various performance assessment efforts. I think it will be
24 appropriate for the Board to have additional meetings on this
25 subject in the near future as these efforts, shall we say

1 become better documented.

2 To go in further depth to compare the expert
3 judgment aspects in particular and the relation between the
4 expert judgment inputs and selection of modeling assumptions
5 to the results of the various performance assessments,
6 because, I think you can only really compare these outputs if
7 you compare the inputs and try to understand the reasons for
8 all the differences.

9 I am very pleased with the progress this meeting
10 represents. I am looking forward to additional stages where
11 we hopefully will make even more progress.

12 Are there any other comments that people in the
13 audience would like to raise with respect to the contents of
14 the last few days?

15 Are there any comments that the Board or Staff
16 would like offer as we conclude your discussions.

17 Leon Reiter?

18 DR. REITER: I have a question for Jean Younker.

19 Jean, you have been around this program a long time
20 in a positive matter and you have played a key role in the
21 site characterization and chaired the group on early site
22 suitability. Based on our personal, not the Department view,
23 but what do you think the likelihood of the site being found
24 suitable?

25 DR. NORTH: I could offer to get out a probability

1 wheel.

2 MS. YOUNKER: Yeah. This is Jean Younker.

3 I guess I would have to separate my thinking on
4 answering that. This is going to be totally a personal
5 opinion, of course, into kind of a political answer, or at
6 least an answer with a political blinder on and then a
7 technical answer. If I look at the technical side, which I
8 am certainly much more qualified to do, I guess that it is
9 really my perception that, if you are going to go forward
10 with the geologic repository in this country, you probably
11 won't find much better site than Yucca Mountain.

12 Everything I know about it I can't imagine but what
13 we once get the waste there and get it in the ground in the
14 way I think it needs to be encapsulated, proper engineered
15 barrier system, I think the rock units there and everything
16 we know about the processes that operate conditions present,
17 probabilities of disruption over 10,000 year period, I think
18 it looks like a pretty good site to me.

19 Whether this country will move forward with a
20 geological repository, and now I am in the realm that I am
21 not a very good judge of that, but certainly having watched
22 the program for as long as I have, Leon, it appears to me
23 that it will be, at least we will still have an big uphill
24 battle. I think the public acceptance of this kind of
25 facility in this country is not at all clear.

1 The National Research Council's report that has
2 been brought up several times is obviously the DOE and the
3 people who work with the DOE are having to put on some kind
4 of a different thought process to look at the whole program
5 from that standpoint of the National Research Council's idea
6 that you maybe should not have some kind of fixed goals out
7 there but there should be some kind of work your way towards
8 some level of adequacy or some level of acceptability.

9 So on the political side or the acceptability side,
10 it is certainly still an uphill battle. I don't
11 have a probability for Warner, but I could certainly dredge
12 one out.

13 DR. REITER: Let me just ask a question. Again Leon
14 Reiter.

15 If there is a problem, where do you think it might
16 lie from a scientific point of view?

17 DR. NORTH: If the site were found to be disqualified
18 for technical reasons, what would be the most likely
19 candidate in your judgment? I remember we used to ask
20 questions like this back in the Reactor Safety Study. If
21 there were a reactor accident, what caused it. It is
22 interesting at the time that we asked that in the pilot study
23 for what became Wash-1400, which was done by some colleagues
24 of mine, the answer was, human malevolence. This was Norm
25 Rasmussen's answer to that hypothetical question. If there

1 were a problem, it would be human problem, either deliberate
2 or unintentional. And this of course was well before Three
3 Mile Island or Chernobyl.

4 DR. ALLEN: But neither of those was malevolent.

5 DR. NORTH: Well, it was sabotage or incompetence.

6 DR. ALLEN: There is a big difference.

7 DR. NORTH: Well, I don't know whether what you want to
8 call Chernobyl. I think there are possible elements of
9 malevolence there.

10 MS. YOUNKER: It's Jean Younker again. I guess I look
11 at the whole, everything we know about site conditions and
12 the probabilities for disruptive events, I guess to me, if
13 the site hydrologic system is as we in general think it is,
14 if the unsaturated zone behaves about like we think it does,
15 and if the climate will be pretty much like it is today for
16 the next 10,000 years, then I can't perceive of a disruptive
17 event that is really a problem, except a direct volcanic hit,
18 which the probability on that seems to be well in the range
19 that is acceptable in this country or in this world for the
20 kinds of things we deal with all the time.

21 I guess from the standpoint and obviously I am
22 couching my answer with a couple of conditional
23 probabilities, but, I am pretty confident that our overall
24 perception on the way the hydrologic system behaves is not
25 fundamentally wrong. I am not saying we are not go to learn

1 something by characterizing the site. But if we are not
2 fundamentally wrong about that and if our whole handle on the
3 increasing of the Basin & Range province, and the climatic
4 changes that are within range of expectation for 10,000
5 years, then I really believe there isn't a credible scenario
6 for the site to be an unsafe site.

7 DR. DOMENICO: I know that you are on the spot and I
8 don't think there is any possibility that the climate is not
9 going to change over 10,000 years. I don't think you do
10 either. I mean, there is going to be change. It may be for
11 the better or for the worse. I don't think you are going to
12 find the unsaturated zone that behaves like you think it does
13 today. It may behave better or it may behave worse. But,
14 once you get underground, as our chairman says, things are
15 going to change on us, don't you think, for better or for
16 worse.

17 MS. YUNKER: Clearly there will be changes. What I was
18 talking about was the range of expectation on those changes.
19 Whether those changes, let's say in the climate are such
20 that the consequences would be disruptive to waste isolation,
21 to performance of the site, I find it hard to believe that
22 the kinds of increases and flux that we would have to see in
23 order for some of the predictions that we have right now, to
24 lead us to not be able to meet the 10,000 accumulative
25 releases, you know, those kinds of changes are pretty low

1 probability given everything we know right now.

2 It's the same thing with conditions in the
3 unsaturated zone. Of course we are going to learn and we are
4 going to find it is not exactly like we think it is. But,
5 how far off could we be given the number of hydrologists in
6 this country who have looked at the information, and looked
7 at what we know about the site. Yet, could we be
8 fundamentally wrong about the way the unsaturated zone
9 behaves. You know, 180 degrees off. It doesn't seem too
10 likely to me. But, obviously, there is some probability.

11 DR. NORTH: Any further questions of Jean along these
12 lines?

13 I find this interaction not only a nice fun way to
14 wind up the meeting, but also very much in the spirit of the
15 kind of discussion that is going to have to go on as we get
16 further in this process. The people responsible for
17 performance assessment are going to have to stand up just the
18 way Jean did and answer these kinds of questions in
19 Congressional hearings, on national television, all over the
20 State of Nevada, etc. And, they are going to have to have
21 very good stories. They are going to have to be very
22 persuasive at the level that we have really studied it. The
23 scientists really understand it and we think the
24 probabilities of these adverse conditions are acceptably
25 small, whatever that means.

1 So, we all might as well start practicing. I think
2 there is no reason to run away from these kinds of issues.
3 We ought to use friendly audiences so that we learn how to do
4 it this very articulately and precisely and then perhaps we
5 will be better at dealing audiences which are less disposed
6 to be friendly and perhaps more in need of developing the
7 technical background to understand some of these very
8 complicated issues.

9 So, I think the theme for the whole performance
10 assessment area ought to be, how can we package it so it is
11 more readily understandable by potential skeptics. And as
12 the program proceeds, I would like to see a lot of effort put
13 on that, as well as refining some of the technical aspects.

14 DR. ALLEN: Not only understandable by professional
15 skeptics, but by professional supporters. Because, after all
16 we depend upon people on both sides getting together.

17 DR. NORTH: Yeah. I think what we want to do is
18 enlighten the debate. The debate is surely going to go on.
19 I think the function of the analysis ought to be to educate
20 people on both sides as to what the technical issues really
21 are. And in this way hopefully the debate will be much more
22 effective in dealing with the issues that are important as
23 proposed to issues where people can make an argument.

24 I think a couple of years ago, we heard a lot of
25 assertion that the vulcanism issue was a potential

1 disqualifying condition. You could stand on the top of Yucca
2 Mountain and you can see four volcanoes and should you have a
3 nuclear waste repository located in this kind of an area?
4 Now I think now we have seen a lot of evidence and analysis
5 pointing to vulcanism should not be a disqualifying
6 condition.

7 DR. LANGMUIR: Langmuir for Carl Gertz. Carl, I am sure
8 you have had to deal with these questions on a daily basis
9 and your people that go to the Yucca Mountain site with the
10 public and discuss these issues are doing it all the time.

11 MR. GERTZ: I am glad you asked. I was just going to
12 talk about that. Can I get my closing remarks in now? Is
13 that appropriate?

14 DR. NORTH: Sure.

15 MR. GERTZ: Because I was just going to discuss some of
16 those things and I will just start with that one.

17 Many of our scientists do deal with those questions
18 in an adversarial type approach dealing with the public.
19 Mike Voegele has taken people out on tours, Jerry Boak, and
20 they go almost monthly out on tours. Let me just show you
21 the results of some of that.

22 DR. NORTH: That was a planted question right?

23 MR. GERTZ: It was perfect. It is perfect.

24 You know we take a lot of people on tours, over
25 5,000 last year and we have asked, and when the public calls

1 up, not a technical tour or ANS tour, but when the public
2 calls up, we try to give them a little survey and ask them
3 what they think. This represents about 2,400 people mostly
4 citizens of Nevada that have gone on tours. After they have
5 taken the tour 90 percent of those people believe DOE should
6 study Yucca Mountain.

7 Now, the question is, what do they believe before
8 the tour? Many were undecided, over a 1,000 of those people
9 were in the blue or the green. They took the tour, the
10 talked to Dr. Boak or Dr. Voegele or Dr. Crowe, because we
11 have our scientists out there, not our public relations
12 people. That is the same thing we do with our meetings we
13 have every six months. And many people, 80 percent change
14 their opinion positively.

15 So we are gaining some experience talking, I would
16 say to the laymen. We certainly gain a lot of experience
17 talking to the technical boards and the NRC. So, we hope
18 many of those people will be around in ten years when the
19 licensing time comes around, too. But there is a lot of this
20 going on and we found when we surveyed these people, they
21 say, we want to talk to the scientists one on one. I want to
22 look Jerry Boak in the eye and see what he thinks. Or I want
23 to look somebody in the eye and see what they think about it.

24 DR. NORTH: Your sample size keeps growing. I notice
25 that is the end of this last month.

1 MR. GERTZ: Yes.

2 DR. NORTH: Have you seen any drop off in the interest
3 of going out and touring the site? Are you still getting
4 lots of people requesting this, or are the requests going up?

5 MR. GERTZ: Let me ask Ms. Riley who runs this program
6 for us.

7 MS. RILEY: We put in the paper in January of this year
8 and we have already filled up the March tour, was full. The
9 April tours are already full and we are taking people for the
10 May tour now. That is one ad that we ran back in January.
11 So there is--

12 DR. ALLEN: These aren't the same people coming back
13 again, are they?

14 MS. RILEY: No. We do have a few people.

15 MR. GERTZ: Few people like to go there every month.

16 DR. LANGMUIR: Based upon that, how long will it take
17 you to get the whole State of Nevada?

18 MS. RILEY: We are trying to figure that out.

19 MR. GERTZ: That's a long time to get the whole State of
20 Nevada. I would like to do that if at all possible. But,
21 that is why we appear whenever we can on any talk shows in
22 the state. We never turn down anything. As I said, we have
23 our public update meetings where the last one had 500 people
24 that came to a meeting in Las Vegas. They talked to the
25 scientists. It was a fairly positive meeting. Some of the

1 meetings haven't been that positive. Now we have a format
2 where they talk to the scientists first around the room and
3 then we bring them back in a group to ask any group
4 questions. It seems to work very well.

5 MS. RILEY: Carl, one more thing. We feel that if we
6 really did do some good advertising for the tours and really
7 promoted them, we could fill, we could only take about
8 300 people per tour and get them up to the top of the
9 mountain and get them back down. But, we think we could run
10 two or three tours a month if we had the staff to really
11 support that without a problem.

12 DR. NORTH: What does it cost to put on these tours,
13 just in terms of what would it take to do two or three a
14 month as opposed to one a month.

15 MS. RILEY: Well it is about 60 volunteers.

16 DR. NORTH: The limit is the volunteer time?

17 MR. GERTZ: The limit is the volunteers. I would make
18 the money available, but you know, we want to get our good
19 scientists out there and we are trying to develop most of the
20 people in the program to go out there. But things are busy.
21 I know it sometimes gets hard for Mike Voegele or Jerry
22 Boak, or Bruce Crowe to volunteer more than two or three
23 times a month.

24 MS. RILEY: And usually it is the Saturday tours that
25 the scientists volunteer for. We would have a hard time

1 getting them to take a Wednesday off. We run one weekday
2 tour every couple of months and it is harder to get staff to
3 do those tours. Most of them will volunteer their Saturday
4 to come out. But it is mostly cost to volunteers and buses
5 and that is about it.

6 MR. GERTZ: It is not really expensive. I think Winn
7 was telling me \$20,000 a tour or something like that.

8 I think you for that question, Don, and the
9 opportunity to bring that up.

10 I guess my other closing comments are, I hope
11 you've been able to see that we are moving from planning and
12 preparation into in effect implementation or production, if
13 you want to keep it all "P's". We are moving forward.

14 Steve Frishman indicated he saw some momentum.
15 Well, I am glad he saw some momentum as a project manager.
16 We do have momentum. I believe the momentum is to study the
17 mountain and ask the questions. It is not to make Yucca
18 Mountain the repository if the momentum is there to study it.

19 I can't go away without telling you one officiating
20 story, so I will tell you sport's officiating story that goes
21 on that line.

22 I had the opportunity to do one of the state
23 basketball playoffs this year, lower level basketball
24 playoffs. But, I was at a small town and if you remember the
25 Duke game where they played Kentucky where Laettner got the

1 last second shot with two seconds. Well, in this game I was
2 doing, the visiting team had the ball out of bounds with 2.7
3 seconds to go and they were down one point. Visiting team.
4 So, they do almost what Kentucky did, except they threw a
5 quick in-bound pass and then they threw it to their center
6 who was standing near the top of the key and I happened to be
7 under the basket. As the center is going to get the pass, he
8 gets pushed by the defensive man. I blow the whistle for the
9 foul. I look up at the clock and there is .3 of a second
10 left on the clock.

11 Now, I am at a home team gym and I am going to give
12 the visitors a chance to tie or win the game with two free
13 throws. And obviously, it could have been ignored, and it
14 all goes back to integrity or whatever. As it was, the kid
15 made one of the free shots, they went to overtime and the
16 visitors won the game and I was not nominated to be mayor of
17 the town. Although, I will tell you the losing coach was
18 very classy. He said afterwards, that was a gutsy call, but
19 it was the right call and my kid never should have pushed.
20 Not too many coaches will say that. So, I appreciate that.

21 But that goes back to the integrity of the
22 scientists here. The people out there with four years, if it
23 is not going to be a safe site, I have no doubt they are
24 going to speak up. Besides that, there is all the oversight
25 including the Board like you all, and the NRC and the state's

1 people. And when Steve points out about the early site
2 suitability, you know when we look at the independent
3 reviewers we had two people from the University of Nevada
4 system as part of those reviewers.

5 So we are making an effort to do the best we can
6 and to explain to the public what we are doing and to try to
7 get an impartial evaluation. Because, as project manager my
8 success is just answer the question yes or no. I am
9 successful either way. So, my goal is much like Don's now,
10 to get below ground with some of the things.

11 So, I think that is my closing remarks. Just a
12 couple of incidental things. Don, you brought up the QA\QC
13 thing and I want you to know that I think the scientists have
14 really accepted both the project management controls we have
15 and the QA/Q/QC.

16 We have guys like Dr. Flint and Dr. Stuckless who
17 are champions of the QA program now who are saying hey, we
18 like this structured approach. We understand what it is. We
19 can do business in this way and it allows us to plan. I have
20 heard some people say it has even improved our science a
21 little. I won't quote which people have said that, but they
22 have said that.

23 So I think that is beyond us. Whether there was
24 over kill before or not or whether there was appropriate
25 participation by the scientists is another question. But,

1 now I think that is behind us and we are moving forward both
2 in the QA/QC and in the project control way of doing
3 business.

4 I am pleased with where we stand and that is my
5 closing remarks and I'll answer any other questions you might
6 have and thanks for the opportunity. We thought it was a
7 nice interaction on both the performance assessment and ESSE
8 and we appreciated the interaction with you all.

9 DR. NORTH: Thank you.

10 I would like to thank all the speakers. I think we
11 have had a very interesting and successful two day meeting.

12 Any further questions or comments on behalf of the
13 Board or staff?

14 (No audible response.)

15 DR. NORTH: Don Deere is not here, so, it is my
16 pleasure to make my thanks to everybody's concluding remark
17 and we will look forward to seeing many of you at our future
18 meetings.

19 (Whereupon, the proceeding was concluded.)

20

21

22

23

24

25

1

2

3

4

5

6

7