

UNITED STATES
NUCLEAR WASTE TECHNICAL REVIEW BOARD

STRUCTURAL GEOLOGY & GEOENGINEERING
PANEL MEETING

SEISMIC VULNERABILITIES

January 23, 1992

Hyatt Regency Hotel
17900 Jamboree Boulevard
Irvine, California 92714

BOARD MEMBERS PRESENT

Dr. Don U. Deere, Chairman,
Nuclear Waste Technical Review Board

Dr. Clarence R. Allen, Chair,
Structural Geology & Geoengineering Panel

Dr. Leon Reiter, Nuclear Waste Technical
Review Board, Senior Professional Staff

Mr. Russell K. McFarland, Nuclear Waste Technical
Review Board, Senior Professional Staff

Dr. Edward J. Cording, Consultant

Dr. Robert Kennedy, Consultant

I N D E X

<u>SPEAKERS:</u>	<u>PAGE NO.:</u>
Opening Remarks	234
Clarence Allen, Chair, Panel on Structural Geology & Geoengineering, Nuclear Waste Technical Review Board.	
Opening Remarks	234
Don U. Deere, Chairman, Nuclear Waste Technical Review Board (NWTRB).	
Ron Ballard, Nuclear Regulatory Commission	239
The Likelihood of New Faulting.	243
David Schwartz, U.S. Geological Survey.	
The Identification of Faulting and Seismic Hazards at a Geologic Repository.	273
Keith McConnell, Nuclear Regulatory Commission.	
EPRI Seismic Studies.	289
Kevin Coppersmith, Geomatrix . Insights on vulnerabilities . Update on seismic hazard studies	
Proposed American Society of Civil Engineers (ASCE) Seismic Design Guidelines for a High-Level Waste Repository.	
Quazi Hossain, Quadrex	322
. Faulting - F.H. Swan, Geomatrix	325
. Ground Motion - Walter Silva,	345
Pacific Engineering and Anaylsis	
Proposed American Society of Civil Engineers (ASCE) Seismic Design Guidelines for a High-Level Waste Repository	
. Underground facilities design M. P. Hardy, Agapito and Associates	358
. Surface facilities design Ken Mark, Bechtel	374
Roundtable Discussion	381

1 P R O C E E D I N G S

2 8:30 a.m.

3 DR. ALLEN: Good morning. This is the second day of the
4 meeting of the Panel on Structural Geology & Geoengineering,
5 of which I am chairman. The Agenda says that I will make
6 some opening remarks. My opening remarks will be to turn
7 over the microphone to Don Deere, Chairman of the Board, who,
8 I think has some comments of his own.

9 DR. DEERE: Thank you, Clarence, ladies and gentlemen.

10 Yesterday, when I gave my opening welcoming
11 remarks, I had another page and a half of comments I was
12 going to offer but, decided it would be better to wait until
13 we had a chance to hear the speakers and to have some
14 discussion. Since the topic of the damaged tunnels was
15 fairly well covered yesterday, I will now make my comments
16 about that particular topic.

17 I would like to offer some technical comments about
18 the use of case histories pertaining to the damage to tunnels
19 by earthquake ground motions. Case histories could offer
20 much on this subject, but all too often little or no data are
21 given regarding two of the key elements.

22 One, the quality of the rock expressed in some term
23 or description and not only the quality of the rock where the
24 damage occurred, but the quality of the rock in the other 80
25 or 90 percent of the tunnel where no damage occurred while

1 subjected to similar ground motions. Two, the type and
2 intensity of ground support that was used. Was it little to
3 occasional rock bolt? Or was it pattern bolting four meters
4 long? Or pattern bolting five feet long? And were the bolts
5 7/8ths inch in diameter or 1 and 1/4 inch? Were they high
6 strength steel or low strength steel? Did they have the
7 ability to elongate with the wave or would they go brittle
8 and fail?

9 These are types that really localize the failure;
10 the type of support and the quality of the ground. And you
11 might think, oh, but the mining engineers, the civil
12 engineers, engineering geologists who are driving these, they
13 put it in exactly like it should be. They make the decisions
14 to put it in. Too often they do not. It depends on the type
15 of contract that is written and the advantage to the
16 contractor. If he is getting two dollars a pound for setting
17 steel sets in a tunnel and he is making money at that, the
18 ground looks awfully bad to him. On the other hand, say if
19 he is given a contract which says you shall supply all
20 support at no additional cost, then the ground looks awfully
21 good. When the inspectors go in and they look up, they get a
22 little scared.

23 So, there are a number of these elements that make
24 it extremely difficult to just take a point from failure out
25 of tunnel and say that it was at this depth and this was the

1 ground motion, approximately, and that was 700 feet deep,
2 therefore 700 foot deep is good or it is bad. So a terrible
3 lot of caution has to be used with this us.

4 Under static loading conditions, the factor of
5 safety in a fault zone may be only, let's say 1.1 to 1.3, if
6 we could calculate it that closely, but it could very low,
7 enough for the static conditions to make you feel comfortable
8 and for the miners to work. That particular area may be
9 stable for the construction, but it may have a very low
10 factor of safety.

11 On the other hand, in the remainder of the tunnel,
12 we may have widely spaced joints, joints that are slightly
13 irregular and very tight. In these areas, the static factor
14 safety is probably greater than five and maybe fifteen or
15 twenty. Now if we have a superimposed dynamic event, whether
16 it be from explosives or whether it be an earthquake, we know
17 which area is going to fail. It is going to be the one with
18 the very low factor of safety. However, in 700 case
19 histories, you may be lucky if you have information on five
20 or ten of them that allow you to have any comfort in really
21 what does the point mean.

22 Also, the tunnel in some cases when approaching the
23 fault zone, may be extremely well supported, to the point
24 that you have a factor of safety that may well be in the
25 range of two, three, four or five. And then when the dynamic

1 motion is superimposed, it comes through very beautifully.

2 So, it is this existing factor of safety and that
3 is a combination of the quality of the rock and the quality
4 it details of the support that has been placed. Then, the
5 other variable, of course, is the magnitude and the type of
6 the ground motion that the tunnel is subjected to.

7 In light of these two crucial factors in static and
8 dynamic stability of the tunnels, that is the rock quality
9 and degree of tunnel support employed, it is not surprising
10 that statistical studies of tunnel damage versus earthquake
11 or other dynamic loading parameters, and versus depth of
12 tunnel, type of rock, size of tunnel, etc., have not given
13 too much insight into the problems. And certainly, not
14 enough for design. The scatter would be so wide and the
15 really good data points so few, that it is extremely
16 improbable that leaving a site and extrapolating to another
17 site based on information from around the world, is really
18 not sufficient for us to understand the problem to do the
19 design.

20 Now I am very pleased that a number of the studies
21 to be presented at this meeting, and I feel I can add, those
22 presented at this meeting to-date, have contained many of the
23 critical parameters. And particularly when we are in a site
24 in a geological medium where some rock quality indices are
25 available, we found yesterday four were used for the tunnels

1 at the Nevada Test Site by DNA, and these do give you some
2 idea of the ground quality. They have assigned some
3 numerical value to those and another system might have other
4 numerical values, but at least, when you are looking at one-
5 third of the case histories in the worst ground, you know
6 which ones they are, and were you looking for the best, you
7 know which they are. And, you have a very good control of
8 the ground motion parameters.

9 Therefore, I think that the results obtained and
10 the conclusions that have been drawn really were of great
11 interest to all of us and can have some value. It is also
12 clear that there are some differences in the loading criteria
13 in the type of ground motion and these make a complicating
14 factor that also has to be taken into account in any
15 extrapolation. Those are my main comments on this.

16 I think case histories, which is really experience
17 is highly helpful, but it is very difficult to take a broad-
18 brush trend and put it immediately at a given design at a
19 given site.

20 Thank you.

21 DR. ALLEN: Thank you, Don.

22 We have had a request for a very short statement
23 this morning by Ron Ballard of the Nuclear Regulatory
24 Commission, which will come next. I would just as soon
25 though not prolong this particular discussion, and further

1 responses let's defer until this afternoon, which we can
2 return to this subject if we wish.

3 Ron Ballard.

4 MR. BALLARD: Thank you.

5 I would like to just take a couple of minutes to
6 comment on Dave Tillson's presentation yesterday,
7 particularly the aspects where he believed that NRC's
8 regulations are contradictory when comparing repository
9 regulations to those of the MRS and reactors.

10 I gave it quite a bit of thought last night, and I
11 really don't believe they are contradictory and I would like
12 to make a very few points here to summarize that. Most of
13 these points I believe you are aware of. First of all, as
14 most of you know, Part 100 does apply directly to reactors
15 and these are surface facilities with lifetimes on the range
16 of decades. The Part 72 regulations apply to Monitored
17 Retrievable Storage Facilities and again these are surface
18 facilities with lifetimes that are very similar to reactors.

19 Even the pre-closure aspects of Part 60, the
20 repository regulations are of similar lifetimes, perhaps a
21 little longer. We talk about a hundred years versus maybe
22 forty or fifty. But, they are surface facilities with
23 similar lifetimes. And if you will note in the regs, we do
24 apply similar requirements. We have in 60.111 for example;
25 the requirement for applying Part 20 regulations to the pre-

1 closure period. This is very consistent with our treatment
2 of reactors in MRSs. Also, we have requirements related to
3 structure systems and components important to safety. Again,
4 a consistency, I believe.

5 A little later on this morning Keith McConnell will
6 be giving a briefing on one of our technical positions, which
7 is the first of a series of technical positions he'll
8 indicate on what we consider reasonable approaches to
9 tectonics and seismic issues. And in there, you will note
10 that our approach to investigations for seismic matters is
11 very, very similar to Part 100 requirements. In fact, it
12 even referred to the investigation of Part 100 in the early
13 drafts of it. But, recognizing the unique aspects of the
14 repository which I'll touch on in a moment, we removed the
15 direct reference because of the complications involving
16 capable fault zone.

17 For all of the above, neither our regulations nor
18 our regulatory guides, I believe, specify any minimum set-
19 back distances or any minimum requirements to avoid faults.

20 To be sure we have discouraged siting on fault
21 zones, or in the immediate vicinity of fault zones, just
22 because of the regulatory complexities. That is consistent.
23 We feel that fault zones should be avoided for the
24 repository.

25 Power reactors are not located near capable faults

1 just because of the difficulty in proving that their complex
2 designs and such can meet the appropriate regulatory
3 requirements. But this is not because the rules specify
4 minimum separation distances from faults.

5 There are unique aspects of the repository though,
6 in terms of the underground components and the post-closure
7 requirements. As you all know, the EPA standard requires
8 license periods in the range of 10,000 years, versus the
9 decades that we are more accustomed to in surface facilities.
10 And there are attendant difficulties such as model
11 validation. We have no experience in trying to validate
12 models that predict out to these ranges. Not in the normal
13 sense, anyway. And we don't have a good handle on how to
14 entreat in a licensing environment, predictions of future
15 states of nature. These are unique problems that require a
16 little bit different approach regulatory speaking, but I
17 don't believe that we actually have contradictory rules and
18 regulations at this stage.

19 I was asked yesterday afternoon by Clarence Allen,
20 if I disagreed with any of the comments in the Dave Tillson
21 paper. At that time I indicated that I didn't see any
22 problems with the direct quotes of NRC, but I had questions
23 about the conclusions. I looked it over a little more
24 closely last night, and I did note one area that may be what
25 I would consider an inaccurate comment, and I would just like

1 to read on top of page nine of his paper a sentence.

2 "However the NRC and its 10 CFR Part 72 Regulations
3 for non-reactor nuclear facilities including Managed
4 Retrievable Storage Facilities, incorporated Appendix A
5 siting criteria including the fault exclusion criteria."

6 And as I have indicated I believe earlier here, I
7 don't think we have the exclusion criteria built into the
8 rules, so although Part 100 was referenced, it does not
9 necessarily include an exclusion criteria.

10 I do agree with the conclusions that the repository
11 is a unique one-of-a-kind facility and I think we are going
12 to have to take little different approaches. We are
13 attempting that as Keith will indicate in our technical
14 positions that we have planned. And, in the primary efforts
15 within the staff now on iterative performance assessment
16 techniques, develop skills and see if the regulations can be
17 implemented in a licensable way.

18 The bottom line is DOE site investigations will
19 have to determine whether or not Yucca Mountain can be
20 licensed. I hope that our regulations are not contradictory
21 in trying to reach that goal.

22 Thank you.

23 DR. ALLEN: Thank you, Ron.

24 I realize that your comments may also stimulate
25 some response, but I would like to put that off until this

1 afternoon if we might, in order to get on with the morning's
2 schedule.

3 The first speaker this morning is David Schwartz of
4 the U.S. Geological Survey. He has been very active in field
5 studies of "active" faults throughout this country and
6 elsewhere in the world.

7 Dave.

8 MR. SCHWARTZ: Thank you, Clarence.

9 I think most of you probably know me. I am with
10 the USGS in Menlo Park. I guess I have been looking at
11 active faults around the world for about the last 18 years.

12 In October I was on a field trip in Idaho with
13 Leon, and we were standing at a trench. I said something
14 about faulting repeating in the same place. Leon said, well
15 how do you know there can't be a new fault. Then we got into
16 an interesting discussion. I thought I had left it in Idaho,
17 but about a month later I got a call from Leon and he said
18 there was going to be a workshop in Irvine and would I mind
19 coming down and continuing the discussion of new faulting.
20 So, I said fine.

21 Of course, when anything is two months in advance,
22 you can say okay. Then we came close to the meeting and I
23 had to get serious about what I was going to talk about.

24 What I would like to do today is really based
25 largely on my experience looking at faults in the western

1 U.S. and in other places, run through a number of examples of
2 looking at the idea of the repeatability or non-repeatability
3 of faulting in the same place during successive earthquakes.

4 In the examples that I will show, I have either
5 actively worked on or visited all but two of the examples and
6 those are from Central Australia, but I think they are kind
7 of relevant to what we are talking about.

8 To sort of kick things off, first of all I would
9 just like to point out that I am going to be telling you
10 about primary tectonic faulting that is seismogenic,
11 coseismic rupture. And there are a number of things that I
12 think is important to keep in mind when we are doing this,
13 when we talk about repeatability of faulting, there is a
14 scale concept, largely in space, but also I am going to
15 introduce the idea of time a little bit.

16 Certainly, when we look around the world, there are
17 many major long-term zones of crustal weakness that have been
18 reactivated through a variety of different tectonic regimes
19 that have been convergence boundaries and have turned into
20 strike-slip boundaries, that have turned into normal fault
21 zones. So that is sort of a large scale type of reactivation
22 and repeatability.

23 We are probably more interested in the math scale
24 where there is sort of a general correspondence between a
25 surface rupture with one style of faulting and perhaps

1 preexisting bedrock. And then we get down to the outcrop
2 scale where we have a fault trace here and three meters away
3 we have a fault trace here and there is another event. Is it
4 going to follow this trace, that trace or break through new
5 rock?

6 These are some ideas that I will hit on as we go
7 through the series of slides.

8 I would like to start off with the Lost River Range
9 in Idaho. In 1983 the magnitude 7 Borah Peak Earthquake;
10 what I am actually going to try to do in assembling the slide
11 is to use examples of faults that produce the kinds of
12 displacements, the range of displacements and magnitudes that
13 we might expect in the Yucca Mountain area.

14 We are going to take a look at the 1983 surface
15 rupture. If you lower the lights a little more, everybody
16 can just kind of dose off.

17 Here is an aerial view of Double Spring Pass and I
18 picked this out because this is in many ways typical of the
19 fault zone and it is a very complex zone of faulting that you
20 can see there is a large graben developed here. These are
21 12,000 year old alluvial fans that have been displaced in
22 1983 and by one prior event about 6,000 years ago. You will
23 notice the main fault scarp, the antithetic scarp bounding
24 this graben and then lots of small displacements in between.
25 When we look at that in detail on the ground, this is what

1 you see. You are looking at the main fault here in shadow.
2 This is the main, the free face from 1983. This beveled
3 surface on top is the degraded scarp from the 6,000 year old
4 earthquake. And, I'll point out, here we have the faulting
5 occurred in exactly the same spot in these two events.

6 You'll also notice that the size of these are the
7 same. It is a beautiful example of a characteristic
8 earthquake, repeating of the same slip in the same place
9 during successive earthquakes.

10 We will stand here and we'll look back a the other
11 side of the graben. Here is the main antithetic fault. The
12 scarp is already degrading. But, if you look, there is a
13 beveled surface on top which flattens out here and this is a
14 scarp of a 6,000 year old earthquake exactly in the same
15 place.

16 Let's look at a little more detail. Shortly after
17 the earthquake we excavated a trench across here. This is a
18 view down into the trench. It's a large horst block. This
19 is small graben within the larger graben. This is Tony Crone
20 from the Survey in Golden. This is very interesting because
21 Tim Hait in 1976 had excavated a trench prior to the
22 earthquake. So, what we wanted to do was to compare what
23 happened before and after.

24 This is a log of Tim's trench purposefully put in
25 reverse; you notice all the faults. Here is a schematic of

1 our trench log and you can see the complex zone of
2 deformation, the main scarp, the main antithetic scarp here,
3 many more small displacements. Those color-coded in orange
4 represent minor traces within the larger graben that slipped
5 both 6,000 years ago and in 1983. So, even on sort of the
6 outcrop scale, we have repeatability of smaller displacements
7 in the same place.

8 DR. ALLEN: Were there no examples where it broke
9 recently, but not 6,000 years ago?

10 MR. SCHWARTZ: The only possibility is these are
11 fractures without any displacement. These are fractures that
12 occurred in 1983, without any displacement.

13 That is an example for fault for which have
14 historical rupture. Let's take a look at another normal
15 fault. This is the Wasatch, in an area just south of Salt
16 Lake City, Little Cottonwood Canyon. I picked this
17 particular slide because, here the trace of the fault zone is
18 very complex. There are, as you can see, many parallel and
19 en echelon scarps with large graben developed. Here is a
20 view of that area from the air. You can see the large main
21 fault. It cuts across these 18,000 year old moraine in a
22 series of very complex parallel scarps and large graben
23 developed through here. In the next slide I will be standing
24 here looking back towards this.

25 Here I am. I am standing on top of the main

1 antithetic scarp. This is a big graben in here. Obviously
2 the people in these condos don't care about the repeatability
3 of faulting.

4 Some lovely homes sitting on tope of the main scarp
5 for a better view down the valley. You can see the series of
6 parallel traces and here is the large antithetic scarp
7 forming this big graben. Now, we have not had a historical
8 event here. But, clearly this topography is built up by
9 repeated slip in exactly the same place. We have trenched
10 these and you can see one for one correspondence in the
11 location of the repeatability of successive earthquakes.

12 Just south of that location is another point where
13 we have spent a lot of time looking t the fault. It's a
14 place called Dry Creek; one of the probably 10,000 Dry Creeks
15 around the world. And this is a series of about five
16 parallel scarps, a very complex zone. We have trenched
17 these; we have profiled these. Let's just show a log from
18 this trench over here. These represent scarps from two
19 earthquakes. In each of these events, each of these scarps
20 was reactivated. So, even when we had the zone of
21 complexity, the zone of complexity is repeated. Here is just
22 an example of that trench log. Here is the main fault
23 slipped here during two events. We are able to date buried
24 soils. We have two earthquakes about roughly at a 5,600
25 years and somewhere around 1,400 years in here.

1 Another part of the Wasatch you see slightly
2 similar but slightly different relationships. This is at
3 Kaysville, just north of Salt Lake City. Here is the main
4 scarp. There is a large graben in here. It has been built
5 up by repeated faulting in the same place. But, when we look
6 in detail across the graben, we can see some variability.
7 This was our trench. You can see the size of the main scarp.
8 Actually I used this slide, some of you might notice and
9 might be able to recognize this person. This was taken when
10 he was still able to do this. This is Bert Swan.

11 We spent a lot of time logging this trench. Here
12 is sort of a large view of what this graben looks like with
13 back tilted deposits. In detail this was the log of the
14 trench. This was actually our first trench across the
15 Wasatch. Here is the main fault. We see at least three
16 events in this very well-defined narrow zone. But what I
17 want to point out are these red lines running through here.
18 All of these little faults formed only during the most recent
19 earthquake. So, in a sense, these are new faults. These
20 deposits were here for three events, but only during the most
21 recent event did whatever structure was below the graben work
22 its way up and finally break through. This is young
23 unconsolidated deposits.

24 DR. ALLEN: So, the implication is, that maybe in the
25 underlying materials those were not new breaks.

1 MR. SCHWARTZ: Exactly.

2 DR. ALLEN: Okay.

3 MR. SCHWARTZ: Let's leave the U.S. for a second and go
4 visit a normal fault in another part of the world. I have
5 been involved with a project in Italy helping the Italians
6 develop their skills in paleoseismology. I had the
7 opportunity to help them put in the first trenches across the
8 normal fault.

9 What you are looking at here is the surface rupture
10 from the 1980 Irpinia earthquake. This was in magnitude of
11 6.9. It killed about 3,000 people. There was about 35
12 kilometers of surface rupture with displacements up to a
13 meter. We are going to look at a site right here just north
14 of the town of Colliano at a place called Piano di Pecori. A
15 wonderful place to do field work in the active trace of the
16 fault. It is just on the other side. This town was actually
17 very heavily damaged in 1980 and they are presently
18 reconstructing it.

19 Here is the site, here is the part of the 1980
20 scarp. At this point there is a brittle rupture with about
21 70 centimeters of displacement. And when we trace this to
22 the self, we are able to trace it to this location where we
23 spent most of our time.

24 I would like to point out the following: If you
25 look at the surface here, you can trace it along to about

1 this point, you see a little inflection it kind of steps up
2 and flattens out. Well, the brittle scarp, the brittle
3 deformation over there gradually changed to a warp. So at
4 this point, the surface displacement in 1980 was about a 55
5 or 60 centimeter high warp of the surface.

6 When we look down below the surface, you can see
7 this sort of orange feature coming up like this, this orange
8 slope. This is weathered limestone. What this represents,
9 this is the buried fault scarp which sits directly below the
10 surface warp.

11 Here you can see a series of light colored
12 deposits. These are lake deposits, little lacustrine
13 deposits that have all lapped onto the scarp and been
14 sequentially warped each time there has been an earthquake.
15 You can look at that in a little more detail.

16 Here is the buried fault scarp; the surface one on
17 top. And these deposits are laid down and there is an
18 earthquake which warps them and there is a series of
19 unconformities that are developed within here. We have been
20 able to actually refold or unfold this and we can work out
21 five earthquakes in around the last thousand years. My point
22 is here, that at this particular place, even though we didn't
23 have a brittle rupture we had a warp, the previous five
24 earthquakes were the same style of deformation. These were
25 all warps in exactly the same place with roughly the same

1 amount of displacement. So, we are getting repeatability of
2 the style and the amount of displacement in the same place
3 during repeated earthquakes.

4 Here is just an example of the log from that
5 trench. In addition to the warping, there are minor little
6 faults that have been developed along the zone of extension
7 as this buried scarp continues to warp during each successive
8 event. So, again, repeatability in the same place.

9 The last normal fault I'll talk about is down in
10 Peru. It doesn't make a difference where you are, normal
11 faults behave the same. Look at the Cordillera Blanca fault
12 zone which is hidden above the top of the screen a few
13 hundred kilometers north of Lima. This is the surface trace
14 of a fault. It is about 250 kilometers long up in the high
15 Andes. Here is a location where we can see lots of different
16 aspects of reactivation. This big face, which is close to
17 two kilometers high, is basically the exhumed or bedrock
18 trace of the fault. The repeated slip has raised this
19 bedrock face and the young trace is right along the bottom.

20 Now, it is almost impossible, if you were right
21 here you could see a little break in slope to give you some
22 sense of scale. We are going to look in the next slide at a
23 point right over here (indicating), and this is that scarp.
24 We could be in Utah, we could in any number of other places.
25 It is a 23 meter high scarp, again formed by repeated slip

1 all in the same place. Here is another example of that.
2 Here is the scarp. It has been buried by debris flows. And
3 up in here you can see a little terrace. This is a tectonic
4 terrace that formed during an individual earthquake. We have
5 done some trenching and again all of the deformation is
6 confined to a very narrow zone that is built up this
7 topography.

8 One other point, on a larger scale old structures
9 tend to control the location of newer structures. Here is
10 another location where we can see actually the fault plane
11 and bedrock, this surface. And when we get up closer, this
12 is the edge of a large granodioritic intrusion of pliocene
13 age. When we get up closer to the edge, you can see there is
14 this strongly foliated ductile deformed margin. This is the
15 margin of the batholith, and within that margin you can see
16 these brittle shears. These are the young normal faulting
17 planes. So all along this part of a fault zone, the margin,
18 the older zone of deformation in the pluton, controlled the
19 location of the younger normal faulting.

20 In this last slide of the Cordillera Blanca, just
21 another example of repeatability in the same place. This is
22 roughly a 14,000 year old alluvial fan that grades out into
23 younger lake deposits. This surface is roughly 16 meters of
24 displacement across here. As you take this scarp out into
25 the younger deposits, the scarp height decreases and you can

1 follow the same trace out onto the horizon where we have a
2 much larger graben developed in older moraines. So again,
3 repeatability in the same place.

4 Let me move away normal faults for a minute and go
5 to strike-slip faults, since perhaps at the site we are
6 seeing a combination of the two types of movement. Art
7 Sylvester sent me this slide. Art is at Santa Barbara. He
8 is the editor of GSA Bulletin. He said, David, I flew over
9 here and I can see your trenches in the slide. He is a
10 better man than I am, because, I can't see the trenches.
11 But, this is the San Andres Fault running right through here
12 just south of Palmdale, California at a little place called
13 Little Rock. We have been looking here trying to develop
14 information on the slip rate along this part of the San
15 Andres. So, we have a series of trenches in through here, in
16 fact you can see this stream comes and makes a right bend and
17 goes out through here.

18 This is a map of the site. These are one meter
19 contours for scale. I am not going to go into any of the
20 details, but these are some things we think might be piercing
21 points on the fault. What I do want to point out are the two
22 traces. They are both geomorphically well expressed and
23 expressed in the trenches. There is a vertical trace through
24 here and there is a dipping trace through here.

25 Now in the next two slides we are going to look at

1 this trench, a view and then a log. Here is a view. This
2 hump is between the two fault traces. So the vertical trace
3 is here, the dipping trace is on the other side. This is a
4 pressure ridge that is built up by repeated movement. These
5 light colored deposits are pond deposits that have been stuck
6 behind the scarp. And like Italy, actually, they have been
7 sequentially warped. Here is a log.

8 So, what we're looking at is the main San Andreas
9 that ruptured through here in 1857 with perhaps four meters
10 of slip. The faults that you are seeing here, the deposits
11 are about 1100 years old. The faults represent anywhere
12 between 20 and 30 meters of right lateral slip, five to seven
13 large earthquakes. The deformation is basically confined to
14 these two very narrow well defined zones, which, just below
15 the surface will probably coalesce and become even a narrower
16 zone with depth. And there has been a little bit of warping
17 off of it.

18 But again, repeatability of large slip events with
19 large amounts of displacement in a very, very narrow well
20 constrained zone. What is interesting here is that we
21 actually were very close to bedrock. There is just a very
22 thin veneer of alluvium over the bedrock.

23 All strike-slip faults aren't always that nice and
24 neat and you can find situations where faulting is much more
25 complex and spread out over a broader zone. This is a trench

1 excavated across the San Andreas at Wrightwood, California,
2 which is just north of San Bernadino. If you follow the
3 trench down, you might be able to see sort of a little
4 antiformal shape ridge here. The main trace of the San
5 Andres which ruptured in 1857 and 1812 and 1655 and back on
6 down, runs through here as a broad zone. And you can
7 actually take the trench out and you come up to cross a scarp
8 that runs out through here. This is largely a secondary
9 normal fault associated with the San Andres.

10 This is just some representative trench logs. This
11 is across the secondary normal fault. This is across the
12 main trace. You can see here we have very complex zone of
13 faulting. But, this is all in unconsolidated sediments,
14 peats, which at one time were very wet. And most of this
15 deformation actually occurred while this stuff was very wet,
16 this was an old swamp. But you can run into zones of
17 complexity to a large degree that are controlled by the
18 materials near surface.

19 Another strike-slip fault is the Motagua Fault.
20 Here we are. We are looking at the surface rupture from the
21 1976 earthquake. Roughly 240 kilometers of faulting with a
22 magnitude of 7.5. That is George Plafker in the background
23 trying to measure one meter of left lateral offset on this
24 cactus fence. I spent a lot of time down here.

25 DR. ALLEN: It's Guatemala. You haven't stated that.

1 MR. SCHWARTZ: Excuse me?

2 DR. ALLEN: It's in Guatemala, right?

3 MR. SCHWARTZ: Guatemala, yeah.

4 DR. ALLEN: You hadn't stated that with this.

5 MR. SCHWARTZ: Oh, I'm sorry. Yes, Guatemala.

6 I spent a lot of time on the Motagua and one of the
7 really interesting locations is a series of terraces that is
8 cut by the fault. This is the oldest terrace and we are
9 working down in elevation. You can see that as you move down
10 to the younger terraces, the displacements decrease, which is
11 what you would expect. What I would like to point out, you
12 are looking at about ten thousand years of history here in
13 these terraces. Look how narrow the surface trace of the
14 fault is. It is really confined to a very, very sharp zone.
15 Then take a look at this trench excavated right over here,
16 and here is a schematic of the trench. Here is the main
17 fault zone where it ruptured in 1976. There is a little bit
18 of older faulting off to the north and there is some warping
19 off to the south. But, basically, this zone represents 23
20 meters of displacement. Almost all brittle displacement;
21 almost all occurring here. And you notice, as we start to go
22 down, we are even getting narrower. Here is a view of that
23 fault, the Motagua fault and the trench; roughly a meter at
24 the surface and narrowing down in depth. As it goes into the
25 bedrock, it is just going to be a very, very skinny zone.

1 One last strike-slip fault, and this is the 1986
2 Superstition Hills earthquake. A fascinating event for a
3 number of reasons. There are really two earthquakes. There
4 was a magnitude of 6.2 on which surface rupture occurred
5 across a zone roughly a six or seven kilometer wide zone of
6 northeast trending, left lateral strike-slip faults. Then
7 about eleven hours later there was a 6.7 on the Superstition
8 Hills fault and there was roughly 22 or 23 kilometers of
9 right lateral faulting.

10 This is one of the, at least for a large part of
11 its length, one of the cleanest, neatest strike-slip faults
12 you will ever see. It looks like somebody came down and just
13 took a knife blade and cut it across the surface. Here is an
14 example of the surface rupture. You can just see how clean
15 and narrow and well-defined this is. It followed a
16 preexisting zone of bedrock. It had been mapped before by
17 Bob Sharp. It also has some geomorphic expression in places,
18 and again, it just looks like a sidewall curve. This is how
19 neat the fault was and it was roughly 70 centimeters of
20 coseismic slip that occurred.

21 Linnvall and Rockwell and others spent some time
22 looking at evidence for the pre-1986 event. They think it
23 occurred somewhere around 300 years ago. They measured a
24 number of features and one of the more fascinating is this;
25 this is a little dune that had formed and been, a little sand

1 dune that had formed around some brush and had been offset 70
2 centimeters in the earthquake. Next to it was another dune
3 that was offset 140 centimeters. Double the amount; the two
4 events. And again, notice how this slips is just repeated in
5 exactly the same narrow spot during these two earthquakes.

6 Let's go back to the northeast trending faults for
7 second because I think they are really relevant to this
8 problem at Yucca Mountain.

9 In '86, these red traces represent where the
10 surface ruptured. The darker traces represent faults that
11 had been mapped. This is an area of Pleistocene Brawley
12 formation, and Bob Sharp had mapped these faults in the
13 bedrock. The absence of faults out here doesn't mean that
14 they don't occur, but this is an area which is covered by
15 some eolean sand and some younger deposits. But you get a
16 feel that there is a broad zone of deformation in the
17 bedrock. Now, in '86, not every one of these bedrock faults
18 was reactivated. But, the ones that did occur followed
19 preexisting bedrock structures. So, we had a broad zone with
20 a lot of choices. Some of them were reactivated. The
21 investigators really looked carefully to see if there were
22 new faults and in all of the literature on this event,
23 everybody says each of these faults is part of this Elmore
24 Ranch fault zone, occurred along a preexisting zone of
25 faulting.

1 Before I get to this, I would like to move to
2 Australia for a second. Maybe after this talk I'll want to
3 move to Australia for good.

4 In 1986 there was a magnitude 5.8 earthquake at
5 Marryat Creek. In '88 a series of earthquakes up at Tennant
6 Creek. These are very interesting, because they are some of
7 the few examples of surface faulting events within stable
8 continental interiors.

9 Tony Crone and Mike Machette from the Survey in
10 Golden had the opportunity to go over and excavate some
11 trenches across the surface ruptures. They were interested
12 in two things. Number one, was the resident of preexisting
13 Quaternary faulting on these features, and number two, what
14 was the bedrock structure like below. So, this is a map of
15 the Marryat Creek rupture. These are thrust faults. It had
16 up to about 67 meters of displacement. This is where they
17 excavated one of their trenches. Here is a schematic log of
18 that trench. Here is the '86 scarp. The red represents
19 fault planes that moved in '86. The orange represents fault
20 planes, older fault planes and basically these are
21 Precambrian granites.

22 Now in talking with Tony, he said they found no
23 evidence of any other Quaternary faulting. It doesn't mean
24 there wasn't any, but there is nothing recorded at this
25 location. And in fact, this could conceivably be a first-

1 time rupture of this fault zone in the present regime.

2 DR. ALLEN: What do you mean in the present regime?

3 MR. SCHWARTZ: I don't know how long this has been a
4 stable interior. These faults were likely formed during
5 emplacement of these granites in Precambrian or to a large
6 degree they may have been. This may be the first time that
7 this has ruptured as a thrust fault, a seismogenic thrust
8 fault.

9 DR. ALLEN: Except, clearly, it was along the
10 preexisting break.

11 MR. SCHWARTZ: Okay. That's what I want to get at.
12 Regardless of how many events we've had, it occurred along a
13 preexisting, a recognizable preexisting zone of deformation
14 juxtaposing different bedrock types and containing
15 preexisting faulting. So, even if this is the first time
16 that it slipped as a thrust in this regime, it occurred along
17 existing faults.

18 Then we go up to Tennant Creek. Another
19 fascinating series of events. There were actually three
20 earthquakes here. The first one was a 6.3, then about three
21 and a half hours later there was a 6.4, and then later that
22 evening there was as 6.3.

23 The first 6.3, during that event, this part of the
24 fault slipped. During the 6.4 this part of the fault
25 slipped. During the last event, this part of the fault

1 slipped. Also, these two segments of the fault dipped to the
2 south and this segment of the fault dips to the north. So it
3 is a very complex, structural setting. They put in a series
4 of trenches, and I'll show you a trench located right here at
5 site 2. This is what they found. Here is the 1988 faulting;
6 here is the 1988 fault scarp based on thicker deposits of
7 alluvium on the down thrown side. They infer that there may
8 even have been a preexisting scarp here. The point is that
9 the 1988 faulting followed preexisting zones of faulting in
10 the older bedrock.

11 Now, interestingly they tried some dating and they
12 have done TL dating at the base of the sands, and it is
13 60,000 years old. So, this is the first event in at least
14 60,000 years; maybe considerably longer.

15 Even if these are very rare events, which they
16 appear to be, they are following preexisting zones of
17 weakness. Let me get on to the last few slides.

18 My last example comes from the Sierran Foothills in
19 California. I think many of you sitting in this room were
20 involved in this work in one way or another. This evolved
21 out of the Auburn Dam study and work for PG&E looking for
22 potential reactor sites in the Sacramento Valley. And, in
23 the mid-70's we went in and took a look at the Sierran
24 Foothills for the siting purposes. The Sierran Foothills is
25 a zone of Mesozoic compression. It is a very, very strong

1 structural grain which is dominated by northwest trending
2 bedding, northwest trending foliation and major northwest
3 trending zones of brittle faulting in the older basement
4 rocks. Superimposed on that is late cenozoic extensional
5 faulting. All of these dots of different colors, they are
6 different types of evidence. But, they represent locations
7 where, in our work we are able to show evidence of late
8 Cenozoic faulting and you can see the general relationship to
9 the older Mesozoic structures.

10 Here is a little more detail of some of these
11 previously mapped bedrock faults and the locations of the
12 younger superimposed normal faulting. I show a slide from up
13 at Oroville, up in Spenceville and then down here at Auburn
14 Dam.

15 This is what started it all, this little crack in
16 the ground. Maybe the kind of slip you might find at Yucca
17 Mountain. This is the surface rupture from the 1975 Oroville
18 earthquake the magnitude at 5.8. A few centimeters of
19 vertical displacement and maybe just a fraction of right
20 lateral. We were able to follow this into bedrock with a
21 very distinctive preexisting zone. You can see here that
22 this particular soil horizon was displaced. That got
23 everybody excited and we said, well maybe we can use this as
24 a basis for looking around the rest of the foothills to see
25 if we can find evidence of other types of features. And we

1 did.

2 This is a place called Spencerville. I remember
3 Clarence spent quite a bit of time at this trench. This too.
4 Bert you keep getting into all of these photographs.

5 Here is a place where we have young colluvium an
6 alluvium. You can see this well-developed fault plane in
7 here. Here is a log of that trench. What I really want to
8 emphasize is that we have two different types of Jurassic
9 bedrock. We have a broad shear zone in between. This is
10 sort of older shearing by and large. The young faulting is
11 defined by this very thin zone of gouge or paper thin plane
12 which is within or near the boundary of this preexisting zone
13 of faulting and can be traced up to the surface.

14 Well when you talk about structural complexity, I
15 think there is probably, well I mean, Auburn Dam comes close
16 to being one of the most complex places you'll ever want to
17 look. And you can see there are lots of different types of
18 structures that we had to deal with in trying to come to
19 grips about surface faulting potential; where it was going to
20 occur, how much was going to occur. Actually at that time we
21 actually had the audacity to say where we though renewed
22 faulting would occur within this larger mass of preexisting
23 structure.

24 What we did as we looked throughout the foothills,
25 we looked for late Cenozoic deposits such as this Mehrten

1 debris flow, which was cut by normal faults. We were able to
2 trace the normal faults down into bedrock. This is what we
3 often saw, preexisting zones of deformation with gouge and
4 the young fault, the reactivated fault occurring at the
5 boundary or within the older zone of deformation. And that
6 is sort of represented schematically by this, where we can
7 see a regional foliation which is deformation of one regime,
8 perhaps at the late stages. A crenulation cleavage was
9 formed with brittle shearing, cataclasis crumpling and gouge
10 formation. And within this narrow zone of older bedrock
11 faulting, these were the preferential places for the young
12 faulting to be reactivated. I think it is basically the
13 same point that I have made throughout the series of slides.

14 So, let me try and sum up and see if there is any
15 time for questions or we can keep that for later.

16 One of the questions, I think it is very clear that
17 certainly from my experience and I think a lot of geologists
18 would agree that future events are going to occur in the same
19 place where they have before. Is there anyway that we can
20 quantify this? I think that is really kind of a difficult
21 problem.

22 Back in 1979, Doc Bonilla at the Survey did some
23 work for the NRC on various aspects of faulting. One of the
24 things that he talked about was the relationship of surface
25 rupture to preexisting faults. This is sort of a widely

1 cited USGS open file report. Just let me read what he
2 wrote. At that time back in '79, he had 108 examples of
3 historical surface rupture. He went through the literature
4 and he tried to see if he could really understand the
5 relationship between historical rupture and preexisting
6 structures from what was in the various papers.

7 It says: "Of the main faults in 108 examples of
8 world-wide historic surface faulting on land, 91 percent
9 occurred or probably occurred on preexisting faults; 8
10 percent are indeterminate in this regard based on available
11 data; and, one percent, that is one example, this was
12 Inangahua in New Zealand of a magnitude 6.2 back in 1968,
13 apparently occurred where no fault existed previously. In a
14 few other cases the main or subsidiary faults apparently
15 penetrated unbroken materials to a limited extent. The
16 correspondence and position of the historical ruptures with
17 prehistoric ruptures has ranged from exact to approximate and
18 emplaces the surface rupture as elected to follow one of two
19 or more available, pre-existing faults."

20 Well since that time, I sat down and I came up with
21 another 26 or 27 historical ruptures, so that the data set is
22 probably up into the 130's now. Somebody, I am sure, can
23 spend some time going through all those and seeing if there
24 are other suggestions of new faulting.

25 Out of this actually, the Inangahua case which he

1 calls the one example, I talked with Doc last week and he
2 said since he wrote this he talked with the authors and they
3 are really not very sure that the conclusion they made was
4 really accurate. So, that would be kind of indeterminate
5 too. So, basically on a sort of a semi-quantitative basis, we
6 can see that it is just not a very common occurrence.

7 Let me sum up with these last two. With regard to
8 new faults, I think that in a sense new faults do occur and
9 they are most common in a couple of examples I showed, in
10 unconsolidated deposits and particularly where preexisting
11 slip surfaces have been buried and there is a long recurrence
12 interval relative to the age of the deposits. You may have
13 no preexisting geomorphology and then something pops through.

14 I think you get new faults in particular where you
15 have refraction at material interfaces. So, if you have
16 alluvium over bedrock and rupture plane comes up and hits
17 that interface, it can refract and go in various places that
18 we may not expect during repeated ruptures. I sort of
19 mention this idea for some faults we may have no prior
20 expression because the faulting has been buried, but still
21 there is an existing fault at depth.

22 I think there are some possible examples in the
23 literature of coseismic rupture propagating into unfaulted
24 bedrock. I think that you certainly have to expect say, for
25 strike-slip faults. I mean, they come to an end. There is a

1 finite end. And, they move laterally. So, over time that
2 rupture surface is going to propagate laterally.

3 It may take advantage of other preexisting
4 structures conceivably at times; it may go through new rock.
5 I don't think you can rule out these possibilities. But,
6 that generally is not what we see in most surface ruptures.
7 And you always have to remember that this takes less energy
8 to move existing planes, especially when they are properly
9 oriented in the stress field, than to break through new rock.

10 So, the final sort of Schwartz's rule of thumb, I'd
11 like to end with this, that I think I'd say that the
12 collective geologic experience is that future slip on faults
13 is most likely to occur along fault claims that have been
14 active during the present stress regime or on planes that are
15 favorably oriented with respect to it. I think there is
16 always the possibility that new faulting will occur in
17 previously unfaulted bedrock. You can never rule that out.
18 And I think it really largely takes place at the very ends of
19 propagating faults.

20 And right now, I don't think there is any real
21 quantitative basis for saying what the likelihood of new
22 faulting is, but qualitatively, I think based on our
23 experience, I think that is exceedingly low.

24 That is where I will end it or open it up for any
25 discussion or if you want to save that for later.

1 DR. ALLEN: Thank you, Dave. Are there questions from
2 the Board or consultant staff?

3 (No audible response.)

4 DR. ALLEN: From the audience?

5 Yes. David Tillson.

6 MR. TILLSON: This is David Tillson.

7 David Schwartz, somewhere back in history I recall
8 you saying that you had some experience on a fault that was
9 reactivated and had encountered an engineered structure. I
10 think it was in Nicaragua; Managua. Can you relate what
11 occurs when a preexisting fault is reactivated and encounters
12 an engineering structure? What happens?

13 MR. SCHWARTZ: I think the one you are referring to is
14 the case of the Banco Central in downtown Managua where there
15 was the Tiscapa Fault ruptured up to the bank and hit the
16 vault. The vault was much stronger than its surrounding
17 pyroclastic deposits and the ruptures just went around it and
18 went on its merry way. That is the example you are referring
19 to.

20 MR. TILLSON: Do you have other examples of what
21 happens?

22 MR. SCHWARTZ: I think that you can go back through the
23 literature, you can look at any historical particularly
24 strike-slip event. You can look at roads. You can look at
25 places where pipelines have been crossed. You can look at

1 where structures have been offset. There is a full
2 literature. Things in certain places, you are amazed at how
3 little happens to a structure, and others there is damage.

4 I haven't systematically made a search of the
5 literature to try and categorize the styles of deformation.
6 But, you go from very little to big surprises.

7 MR. TILLSON: So what you are really saying is that it
8 is very unpredictable.

9 MR. SCHWARTZ: What's unpredictable?

10 MR. TILLSON: The effect.

11 MR. SCHWARTZ: I think the effect is variable, not
12 necessarily unpredictable.

13 DR. ALLEN: Other comments?

14 John Whitney.

15 MR. WHITNEY: Do you have any examples of reactivation
16 along faults where there has been some rotation of the least
17 principal stress in an area or the style of faulting has
18 changed over time?

19 MR. SCHWARTZ: You mean individual structures?

20 MR. WHITNEY: Right. Individual structures.

21 MR. SCHWARTZ: I think a lot of the ones I showed
22 actually fit that description. The last series, the faults
23 in the Sierran Foothills were formed by regional compression
24 at depth in the Mesozoic and are now undergoing east-west
25 extension. So, a totally different stress regime acting on

1 the same planes. And, almost all of these structures were at
2 one time or another in the bedrock, some sort of other type
3 of Wasatch went through an older perhaps thrust period and
4 that zone was active from the Paleozoic. There are a lot of
5 examples of individual faults that have gone through one, if
6 not more different styles of deformation over the history.

7 DR. ALLEN: Certainly, a famous example from geologic
8 text books is the Bright Angel fault in the Grand Canyon
9 where the Precambrian rock in the inner gorge is offset one
10 way vertically and Kaibab limestone at the top of the rim was
11 offset the other way vertically.

12 MR. SCHWARTZ: That's a beautiful example of that. It
13 is very common.

14 DR. ALLEN: Leon Reiter.

15 DR. REITER: Just two questions. I think the example of
16 the Banco Central brought up that was a key item in the case
17 of the NRC hearing on Vallecitos Reactor. There was a
18 concern about a fault going through the reactor. That was
19 one of the things that eventually led the Board eventually to
20 rule in favor of keeping the reactor there. Unfortunately,
21 the ruling took so long the company went out of business.

22 DR. ALLEN: With a board of experts sitting at a table.

23 DR. REITER: Yes.

24 But, Dave, one example which has been cited often
25 as possible new faulting is the Meckering Fault in Australia.

1 Could you comment on that?

2 MR. SCHWARTZ: Yes, I will comment. It is not a new
3 fault. There is actually a preexisting scarp there. There
4 has been some trenching and it shows evidence of prior
5 faulting.

6 DR. ALLEN: Bob Kennedy.

7 DR. KENNEDY: I would like to comment on Dave Tillson's
8 question as to whether this was highly uncertain or whether
9 the behavior can be predicted. There are several examples of
10 faults going across vault type structures near the ground
11 surface where because of the strength and the stiffness of
12 the vault type structure, and the lower strength of the
13 ground surface, it went around.

14 There are also cases where you have brick walls,
15 un-reinforced masonry walls or wood structures where the
16 surrounding soil is stronger than the structure and it goes
17 through the structure and breaks the structure.

18 For structures like hot cells in soil media, it is
19 in my opinion nearly certain to go around as long as there
20 has been proper engineering design.

21 Now at Nevada Test Site we find, and I think that
22 is not surprising, you cannot build a structure at a fault
23 crossing that isn't going to still allow the tunnel to have
24 to displace the fault crossing. You can't stop the fault
25 crossing. You can't stop the fault moving. But we have

1 built structures that have withstood fault movement. In fact
2 when we have critical cabling that crosses faults and blocks
3 and joints and we have had situations where there has been
4 movement of over one meter, we can protect that cabling by
5 putting it in a thick-walled steel pipe and grouting it and
6 filling the steel pipe with grout, we have never had a cable
7 break. It just simply, the pipe deforms and this is in rock.
8 The pipe has enough deformation capability and we protect
9 the inner cables for over a meter of fault movement.

10 So, it is a matter of which is the stronger and
11 more ductile system. If you build a structure that is
12 stronger and more ductile, it will survive these movements.
13 I think it is very predictable.

14 DR. ALLEN: I think we probably ought to move on. We
15 are a little bit behind schedule. Thank you very much, Dave,
16 for a very clear presentation.

17 The next presentation is by Keith McConnell of the
18 Nuclear Regulatory Commission, the Identification of Faulting
19 and Seismic Hazards at a Geologic Repository.

20 MR. MCCONNELL: Thank you, Clarence.

21 My name is Keith McConnell. I am with the U.S.
22 Nuclear Regulatory Commission. I am here this morning to
23 give the NRC staff's perspective on the identification of
24 fault displacement and seismic hazard at a geologic
25 repository. And by necessity, that is a regulatory

1 philosophy or perspective.

2 The perspective that I am going to give is formalized in
3 a staff technical position that is now in draft form and is
4 soon to be in final form on the investigations to identify
5 fault displacement and seismic hazards. And that staff
6 technical position is going to form the basis of my
7 presentation today.

8 Now the staff technical position on Investigations
9 to Identify Fault Displacement and Seismic Hazards at a
10 Geologic Repository, is one of a series of staff technical
11 positions that we have under consideration or development at
12 the present time. The one we are going to speak on today,
13 the upper most one, investigations to identify the hazards,
14 is followed by a companion staff technical position, the
15 Analysis of Fault Displacement Hazards and Seismic Hazards at
16 a Geologic Repository. Now the separation of these two has
17 caused quite a bit of consternation among our reviewers of
18 the initial STP.

19 However, we base the separation on two things.
20 One, the controversial nature of the topic that we are
21 dealing with, we felt that in order to get something through
22 in an expedient manner, we had to take a small bite at first.
23 Second, the split also reflects a split in Part 60, 10 CFR
24 Part 60. Part 60 has requirements that relate to the
25 investigation of potentially adverse conditions at the site,

1 and it also has requirements that relate to meeting
2 performance or the analysis of those potentially adverse
3 conditions and whether you can meet the performance
4 objectives. So, there is a basis for the split.

5 A third staff technical position under development
6 at the present time with the staff is the use of Tectonic
7 Models in Performance Assessment. Then, there is a fourth
8 technical position under consideration which is, the
9 Application of Fault Displacement Hazards and Seismic Hazards
10 to Design.

11 A question frequently asked of us is why is the
12 staff taking it on itself to develop a staff technical
13 position for the Investigation of Fault Displacement and
14 Seismic Hazards at a site? And basically, it is because in
15 our staff review of the site characterization plan that the
16 DOE published several years ago, we identified what we
17 thought were very significant concerns with respect to fault
18 displacement and seismic hazards as to whether the
19 investigations outlined in the SCP were sufficient to fulfill
20 the Part 60 requirements. Again, these are the requirements
21 that relate to the identification and investigation of
22 potentially adverse condition at a proposed site.

23 As we saw yesterday, site characterization has
24 begun at Yucca Mountain in earnest. While we have no
25 objection to DOE starting site characterization, the staff

1 concerns have not been resolved at this point. We felt that
2 it would be inappropriate for us to sit around and wait until
3 we received a license application to address the issues or
4 what the staff felt was sufficient and necessary to meet Part
5 60 requirements.

6 To get back to one of the questions that Leon had
7 yesterday, in this pre-licensing stage of the process, the
8 staff feels that the most appropriate mechanism or issue
9 resolution is to go through and address the SCA concerns that
10 were identified in our site characterization plan. At the
11 same time in Bob Bernero's cover letter where we emphasized
12 those issues, we felt were of highest priority, if DOE has a
13 consideration where they think we should change those
14 priorities, they could come to us again in the form of the
15 response to the SCA to change the priority.

16 This slide is to just give you some idea of the
17 chronology of development of the staff technical position on
18 investigations to identify fault displacement and seismic
19 hazard. Basically the main point I wanted to bring out was
20 the stage where we are now. We are in this area on December
21 17th and 18th of last year. We met with the Advisory
22 Committee on Nuclear Waste to discuss the staff technical
23 position. And my presentation today and the aspects of the
24 staff technical position that I'll be discussing, do reflect
25 some of the changes that were made in response to comments

1 made at the Advisory Committee Meeting. We hope to issue the
2 final STP sometime in the next couple of months.

3 Now the objective of the STP is to provide an
4 acceptable approach to the collection of sufficient data
5 related to fault displacement hazards and seismic hazards for
6 both pre-closure and post-closure performance assessments,
7 basically putting on the table what the staff considers is
8 necessary and sufficient information to identify those
9 adverse conditions that relate to fault displacement and
10 seismicity of at a geologic repository.

11 What's required to meet Part 60 requirements? The
12 purpose is again to describe an acceptable approach to meet
13 10 CFR Part 60 requirements for investigation of fault
14 displacement hazard and also to provide one path, although
15 there may be other paths, to the resolution of the SCA
16 concerns with respect to those issues.

17 The approach adopted in the staff technical
18 position has several aspects to it. One, that it does
19 benefit from the past regulatory experience with reactors.
20 It does not ignore the experience gained with the
21 implementation of Appendix A, to Part 100, in that it does
22 use explicit criteria for identifying fault hazards.
23 However, there are very clear regulatory and technical
24 reasons why Appendix A to Part 100 is not applicable to a
25 geologic repository. From a regulatory perspective, Part 60

1 does not refer to Appendix A to Part 100, therefore there is
2 no specific requirement that DOE needs to address the
3 requirements in Appendix A of Part 100.

4 From a technical standpoint, Appendix A
5 concentrated on the seismic hazard of nuclear power plants.
6 It did not necessarily put the emphasis on fault displacement
7 hazard that is of a concern with respect to a geologic
8 repository.

9 The STP uses deterministic criteria, not unlike
10 Appendix A to Part 100, to determine which faults require
11 detailed investigation. However, from our perspective we do
12 recognize that there is utility in using probabilistic
13 techniques in determining which faults are of concern outside
14 the controlled area.

15 Finally, the STP recognizes the need to perform
16 iterative assessments and it also recognizes that our crystal
17 ball is not completely clear, and that there may be things
18 that come up in the iterative performance assessment that may
19 require additional investigations of fault displacement and
20 seismic hazard.

21 The key provisions of the STP that again relate to
22 some of our SCA concerns, the site characterization concerns,
23 are one, staff technical position identified the entire
24 Quaternary as the period of geologic time that should be
25 considered with respect to identifying fault displacement and

1 seismic hazard. It also provides a methodology and criteria
2 for identifying and investigating those faults that are of
3 potential concern to the repository. Again, this is the
4 criteria that is parallel to the approach used to define
5 capable faults for nuclear power facilities.

6 Also, it specifies that faults or fault zones
7 previously removed from further consideration may need to be
8 reconsidered based on the results of site characterization.
9 In other words if your basic assumptions change as a result
10 of some of your site characterization activities, you may
11 need to go back and revisit some of these faults you have
12 said that you didn't need to investigate.

13 Finally, the staff technical position recognizes
14 that it is proper and prudent to err on the side of
15 conservatism. In other words, there may be some faults that
16 DOE will investigate and on further analysis may not be of
17 importance to repository performance. It is better to err on
18 the conservative side rather than risk overlooking something
19 that may be significant, some fault or fault zone that may be
20 significant.

21 What I would like to do now is to attempt to walk
22 you through the position using this diagram that illustrates
23 the position outlined in the staff technical position.

24 Basically there are a series of steps that need to
25 be passed through, or gates that need to be passed through.

1 First of all, there has to be the definition of the geologic
2 setting or at least the faulting and seismicity component
3 with respect to the topic today of the geologic setting.
4 There has to be an identification of the region to be
5 investigated, that area for which faulting and seismicity
6 could possibly affect repository performance. After having
7 identified that region and with the existing data and the
8 knowledge of faults at the repository there has to be some
9 sort of screening mechanism about which faults need to be
10 continued as candidates for detailed investigation.

11 Based on the requirements of Part 60 for
12 potentially adverse conditions, which state that a
13 potentially adverse condition such as faulting in a
14 Quaternary is an adverse condition if it is characteristic of
15 the controlled area, or based on that, all faults inside the
16 control area are considered to be candidates for detailed
17 investigation.

18 Faulting in a Quaternary is also an adverse
19 condition if it occurs outside the repository only if it
20 could affect repository design or performance. Therefore,
21 those faults outside the controlled area that could possibly
22 affect repository design and performance continue to be
23 candidates for detailed investigation. Faults outside the
24 controlled area, even though they may show Quaternary
25 displacement, if there is no potential that they may affect

1 repository design performance, then they do not require any
2 further consideration or detailed investigation.

3 Now one of the changes we have made in response to
4 comments from several reviewers is, we have basically changed
5 our approach to naming faults and faults of concern to the
6 geologic repository. Those of you who are familiar with the
7 history of the STP know that we started out with
8 tectonically significant fault. We were criticized for that
9 term because it appeared to be prejudicial. We ended up then
10 with susceptible fault which is a parallel to capable fault.
11 We were basically criticized for the same reason. So now
12 we've gravitated to basically categorizing fault levels.
13 This is preliminary because there is again some discussion
14 that calling things Category 1 could confuse things with
15 Category 1 type structures in reactors. So it could be Type
16 1 or Category A or something like that. But it is going to
17 be similar to this type of categorization scheme.

18 A Category 1 fault would be a fault that does not
19 require detailed investigation. A Category 2 fault is a
20 candidate. And, after we have determined what the candidates
21 are, then we go through a third step where we identify those
22 faults that require detailed investigation. They will
23 eventually be Category 3 faults and then you go into the
24 investigation of the faults and then the input into the
25 probabilistic and deterministic assessments of performance.

1 So, just to reiterate, basically there will be
2 three categories of faults. Category 1 faults do not require
3 detailed investigation. Category 2 faults which are
4 candidates and they have gone through the initial screening.
5 Category 3 faults, faults that should be investigated in
6 detail and we'll provide the basis for input into
7 probabilistic and deterministic analyses of performance.

8 To provide some of the criteria for the various
9 categories, and I'll describe some of these criteria in a
10 little bit more detail later. Particularly, Category 1
11 faults are faults that are not subject to displacement and
12 I'll discuss what subject to displacement in the staff views
13 is in a few minutes. We are also looking at such that are of
14 sufficient size such that, they will not affect repository
15 performance or will not provide significant input into models
16 of repository performance.

17 Category 2 faults are faults inside the controlled
18 area. Again this is these two branches, faults inside the
19 controlled area, and those faults outside the controlled area
20 that are determined to be located such that, and are of
21 sufficient size such that, they may have an affect on
22 repository performance or may provide significant input into
23 repository performance models.

24 Finally, Category 3 faults are faults that are
25 determined to be subject to displacement and they have the

1 potential to affect repository performance or provide
2 significant input into models used to assess repository
3 performance.

4 Now the key factors in determining what a Category
5 3 fault is defined in the STP as a two step process. First,
6 there is a consideration of whether the fault is subject to
7 displacement and then two and three here, a judgment whether
8 it will affect repository design or performance or provide
9 significant input. That is illustrated in this rather dark
10 viewgraph.

11 Step 1 up here, again we have the candidate faults
12 coming into this two step process. Step 1 is the fault
13 subject to displacement, and then Step 2 an assessment of the
14 affects of fault displacement on repository design and
15 performance.

16 So, Step 1 is the determination of whether the
17 fault is subject to displacement. A fault is considered to
18 be subject to displacement if there is evidence of Quaternary
19 displacement. That is the first block up there. In those
20 cases where the Quaternary record is incomplete or unclear,
21 basically middle block, then you should consider secondary
22 criteria. In other words if the entire geologic record is
23 not present for the Quaternary such as the Ghost Dance Fault
24 scenario, then you should consider the secondary criteria in
25 determining whether the fault is subject to displacement.

1 Another modification we have made since the
2 Advisory Committee Meeting, is that if there is documented
3 evidence that no Quaternary faulting has occurred, then the
4 fault does not require any detailed investigation. But that
5 does not relieve all responsibility for considering that
6 fault, because, again, it is an iterative assessment.

7 Based on results of site characterization, you may
8 need to go back and reconsider those faults that you have
9 excluded from site characterization. But just to reiterate,
10 the primary criteria is evidence in the Quaternary. If the
11 answer is yes, then you continue on in the process. If the
12 answer is yes to any of the other or any of the secondary
13 criteria after you have passed through the first block, then
14 again you continue on. But, you haven't reached fault
15 Category 3, yet.

16 Basically, again an assessment of effects of fault
17 displacement on repository needs to be considered before you
18 determine which faults require detailed investigation. This
19 is to address the point where you may have a fault that is a
20 foot long, it may have Quaternary displacement on it, but it
21 is insignificant. Does DOE have to do an extreme amount of
22 detailed investigation to address that fault issue? And the
23 NRC position is no, if they can show that it is not going to
24 have a significant affect on repository design or
25 performance.

1 I think we heard yesterday that DOE was proposing
2 five meters of offset for those faults that might be of
3 significance. I think if DOE plans to propose that formally,
4 we would be very interested in commenting on it. So there is
5 a second assessment of affect on repository design or
6 performance.

7 Only after you have gone through those two steps do
8 you have fault Category 3, which are those faults that
9 require detailed investigation and would serve as a primary
10 input into repository assessments of performance.

11 Now having said that, there are some questions that
12 came up yesterday and have basically come up for quite
13 awhile, with respect to whether the presences of what we
14 called up until a couple of months ago susceptible faults in
15 the controlled area or what we would not call Category 3
16 faults in the controlled area, would remove a site from
17 consideration or would make it unacceptable in the NRC's
18 eyes. It is quite clear from Part 60 that that is not the
19 case. The DOE would have to demonstrate with reasonable
20 assurance that the siting criteria, the design criteria and
21 performance objectives in Part 60 could be met.

22 That is a very general statement. But, there is
23 specific guidance in Part 60 related to adverse conditions.
24 And again, fault displacement and seismicity are adverse
25 conditions. With regard to how they should be addressed,

1 Part 60 indicates that although you may have the presence of
2 an adverse condition, as long as you can demonstrate, one,
3 that it is balanced by favorable conditions at the site, or
4 that it can be designed for, or basically that it can--I'll
5 have to get the correct term. But, basically there are two
6 steps to resolving potentially adverse conditions at the
7 site. One is that you have favorable conditions and the
8 other is that it can be remedied. The term remedied
9 implicitly says that you can design for these adverse
10 conditions.

11 From the NRC staff's perspective, the presence of
12 Category 3 faults does not make the site unacceptable as long
13 as you can demonstrate that performance objectives can be
14 obtained and met.

15 I would like to skip down to the fourth bullet
16 here. What Part 60 doesn't do is it is not specific about
17 how you remedy the adverse condition. In other words, Part
18 60 contains no requirement for a set back or an avoidance
19 philosophy as far as remedying the adverse condition. It is
20 up to DOE to come up with the remedies of potentially adverse
21 conditions if they exist at the site.

22 Now, being realistic about the situation and
23 knowing that at Yucca Mountain fault displacement and seismic
24 hazards may be quite pervasive in the controlled area. The
25 staff has developed a philosophy as far as what it would

1 expect from DOE to address these hazards and potentially
2 adverse conditions. First, we would suggest that prudence
3 suggests caution regarding design to accommodate fault
4 displacement. I think it is kind of a motherhood statement.

5 Also, design for fault displacement must provide
6 reasonable assurance of meeting of performance objectives.
7 Again, you've got to meet the performance objectives.

8 Finally, if DOE does intend to design for fault
9 displacement as seemed to be indicated yesterday, then they
10 should come to the staff for early resolution of fault
11 related design and performance issues. I guess that is
12 basically as far as we want to go.

13 DR. ALLEN: Thank you, Keith. There have obviously been
14 some very significant modifications since the time of the
15 ACNW meeting that you have obviously been very busy.

16 Do we have comments from the Board?

17 Ed Cording.

18 DR. CORDING: In regard to the statement, the motherhood
19 statement that you referred to, is it caution in deciding to
20 embark on a design or caution in regard to the conservatism
21 and what one puts into the design? And then in terms of
22 design, there is a lot of different aspects that design could
23 involve setbacks, it could involve things such as these
24 vault-like type structure that tend to move or could involve
25 things that accommodate it. It could involve an access drift

1 that gets offsets and it is not near emplacement holes and
2 things like that and you just go in and re-mine it. There is
3 a lot of different aspects to fault movement in a large
4 facility like this and I think those are things that
5 certainly would be looked at assuming there are faults that
6 have those possibilities anywhere in the repository.

7 So, I guess part of my question is, the statement
8 seems to say, well it is not clear what the statement is
9 really saying, but are you really saying that one should not
10 be involved in designing for fault offset?

11 MR. MCCONNELL: I don't think we are saying that. I
12 think the history of the agency has been to take a very
13 conservative approach to design for fault displacement. I
14 would expect that philosophy to continue. But, we've
15 recognized that adverse conditions like fault displacement
16 can be remedied. How those adverse conditions are remedied
17 is up to DOE to propose to us, how they are going to remedy
18 that adverse condition if it exists at the site. That is why
19 we ask for early resolution. If they do intend to design for
20 it, they must be aware of this conservative philosophy that
21 the agency has taken and will continue to take. So they
22 should come to us very early in this process to resolve those
23 concerns. But, the burden is on DOE.

24 DR. ALLEN: Other comments?

25 (No audible response.)

1 DR. ALLEN: Any questions or comments from the audience?

2 Yes, Ron Ballard.

3 MR. BALLARD: I would just add in response to the
4 question on caution is that the statute, you may recall,
5 provides a three year license period. That leaves the staff
6 with something like 18 months to do a review and prepare a
7 safety evaluation report. Now, based on the experience we
8 have had with faulting and such in the licensing for
9 reactors, I think that the caution indicates that let's get
10 these matters out on the table during this consultation
11 period, long before we get to a license application review.

12 DR. ALLEN: Thank you.

13 Let us take a 15 minute break and reconvene at
14 10:25 a.m. and proceed with the program then.

15 Thank you, Keith.

16 (Whereupon, a 15 minute break was had off the
17 record.)

18 DR. ALLEN: The next speaker on the morning's program is
19 Kevin Coppersmith of Geomatrix, who will be talking to us
20 about the EPRI Studies.

21 MR. COPPERSMITH: I'm here today representing a study by
22 the Electric Power Research Institute, known for short as
23 EPRI. This is part of their high-level waste project. I am
24 going to be stepping through a brief summary of their program
25 and focusing in particularly on the elements related to the

1 fault displacement hazard and giving an update on where we
2 are as an ongoing program. We will be going through the
3 latter part of this year.

4 The EPRI-HLW project objectives are essentially
5 two. One is to develop an integrated methodology for
6 performance assessment and use that to identify and
7 prioritize crucial issues. The second and equally important
8 objective of the study is to involve the Department of Energy
9 and its contractors in this methodology development and its
10 implementation.

11 I think that it is important to note that the
12 EPRI's involvement in this program is spawned by the strong
13 interest the electric utilities have in the Yucca Mountain
14 program and in the high-level waste program in general. It
15 was felt a couple of years ago at the time of the evolution
16 of this project, that the EPRI and its contractors would have
17 an opportunity to help the Department of Energy to develop
18 methods for having an integrated performance assessment that
19 would help the process move forward both for purposes of
20 early site suitability assessments as well as for ongoing
21 performance assessments, iterative process of looking into
22 the variety of technical issues, using those at any one
23 period of time, that the performance assessment would tell
24 you what the important issues are and use that evolving
25 information as more data are gathered to help prioritize and

1 to move the process ahead.

2 The Electric Power Research Institute has no long
3 term objective of carrying out the full performance
4 assessment. It is interested in developing a methodology,
5 demonstrating its usefulness and the fact that it works and
6 ultimately having DOE and its contractors take over that
7 methodology and carry it forward.

8 The significant project milestones for the project,
9 I have shown here. We have made it through Phases 1 and 2
10 and are in the middle of Phase 3.

11 During Phase 1 a methodology for integrated
12 performance assessment was developed and it was demonstrated
13 to be a useful methodology. I'll show a little bit what that
14 looked like. The results of that first phase were published
15 in an EPRI publication. Many of you have seen that.

16 Phase 2 involved a refinement of that methodology,
17 the inclusion of some additional parameters such as gaseous
18 release and the consideration of a number of other isotopes
19 for example, and the refinement in the various components of
20 the model. I'll show some detail on that.

21 Phase 3, which is ongoing right now is basically a
22 demonstration of how uncertainties can be quantified and
23 incorporated into the analysis. Phase 1 and 2 was designed
24 to help establish and set up a methodology that could be used
25 for integrated performance assessment, without the clear

1 objective of trying to quantify uncertainties in that
2 treatment. Obviously it is a probabilistic analysis, but the
3 treatment of uncertainty and incorporation and quantification
4 of our present level of uncertainty was not the goal in
5 Phases 1 and 2, it is the goal in Phase 3.

6 To do that we are focusing in on one element of the
7 performance assessment and that deals with earthquakes and
8 tectonics. We are going through a process as I'll show in
9 some detail, of incorporating the present levels of
10 uncertainty regarding those issues.

11 Well, let me show, without getting into too much
12 excruciating detail and performance assessment methodology,
13 let me just show basically what the EPRI model looks like.
14 It is shown schematically here in what we call our master
15 logic tree. The components that are considered here are a
16 variety of things that can influence the performance of the
17 repository system. We are dealing here in the post-closure
18 period over approximately the next 10,000 years or so and
19 looking at the influence of a number of environmental factors
20 like ground-water flux, earthquake caused canister failures.
21 These are particularly fault displacement. This is the node
22 that I'll be talking about in some detail. Change in water
23 table due to earthquakes. Volcanoes. And, moving into the
24 impact on the repository itself, borehole stability. I get
25 into details of the canister and its design. And then moving

1 through a variety of transports, pass from the repository
2 system to the accessible environment.

3 These types of considerations are the common
4 considerations being integrated now into all the performance
5 assessments being done for the repository.

6 The important point here is, number one, we have
7 tried to be very explicit and very careful to incorporate all
8 those elements that could potentially affect the repository
9 performance. And secondly, we are using a tool called a
10 logic tree that allows us to incorporate the uncertainties in
11 each one of those elements and ultimately have a full
12 distribution of uncertainty in the final answer. The logic
13 tree approach in a nutshell, is essentially one that allows
14 for alternative hypothesis and probabilities associated to
15 those alternatives and I'll show some examples of that.

16 I should point out here, I am going to be focusing
17 in on particularly this node of the logic tree. And of
18 course to get a full distribution on the probabilities of
19 earthquake induced canister failure due to fault
20 displacement, a larger analysis and in turn a much larger
21 logic tree is involved. I'll get into some of the details of
22 that.

23 But, earthquakes show up not only in the fault
24 displacement part of the problem, but the considerations of
25 vibratory ground motions, the affect on the water table

1 borehole stability and other places along the way. The
2 description of and characterization of the earthquake
3 environment becomes important, and there is feedback between
4 some of these elements.

5 The way the methodology, and again this is in
6 Phases 1 and 2, the way the methodology was set up was to
7 develop a methodology development team that had met for about
8 a year for Phase 1 and another year for Phase 2. These are
9 the individuals involved in that team. So, I think it is
10 important when you look at the expertise involved or
11 basically looking at essentially a single individual for any
12 one element of the performance assessment. We asked that
13 these individuals describe in the best way they could the
14 particular models that might be most appropriate for trying
15 to quantify the particular element of the performance
16 assessment. And, to make their best estimates of the types
17 of uncertainty that might exist in the community at the
18 present time. We didn't, though, use multiple experts or try
19 to fully quantify the uncertainty in these first two phases.

20 You'll see, for example, I am the only one up there
21 whose is involved in the seismic geology part of the problem.
22 The model that I will show is essentially one person's
23 model. What we ultimately would feel is appropriate for a
24 full probabilistic performance assessment of course is a
25 better and fuller description of the uncertainty.

1 Just to give you an idea of what these logic trees
2 end up looking like, this is an example to give you an idea
3 of how the results of the performance assessment come out.
4 Essentially, the logic tree as I showed is a large tree with
5 a number of nodes which in turn are composed of a series of
6 smaller trees. If you look at just in general at this
7 example logic tree, this is the basic scheme of how things
8 are done. If we look at a particular environmental factor
9 external impact, let's say this is the likelihood of a
10 particular type of volcanic eruption or dike intrusion
11 probability or dike intersection with a repository, a
12 particular state of that hazard shown here as E_1 and an
13 alternative state shown as E_2 and each of those alternatives
14 are associated with a probability of being the true state of
15 nature. This is a typical way of breaking down the problem
16 into component parts, but, in turn would lead to certain
17 types of radioactive releases in terms of a source term here
18 S_1 or S_2 in turn associated with probabilities.

19 Hydrologic properties are also uncertain as we well
20 know. We could show those with different alternatives as H_1
21 and H_2 . You can see as you work your way through this logic
22 tree you have a combination of particular scenarios. These
23 are arranged in such a way that the elements, the components
24 of the model that exist to the right are dependant on those
25 that exist to the left. So given, a volcanic dike

1 intersection probability, that would lead to some source term
2 and move on through the tree.

3 Essentially, the combination then of parameters
4 that find that particular end branch and in this case E_1 , S_1 ,
5 and H_1 , the probability of that particular combination of
6 parameters is simply the product of the probabilities of the
7 branches that got you there. And it is a very simple
8 technique to go through and it is very convenient and
9 efficient for scientists and engineers to quantify their
10 uncertainties this way.

11 The way this gets into the calculations essentially
12 those particular combinations, end branches and their
13 probabilities, then go through a series of source and
14 hydrologic transport calculations and lead to a distribution
15 of chemical release that looks like this. It is a function
16 of time. As I'll show most of the examples go from
17 essentially zero out to 10,000 years or so, we look at the
18 release rate as a function of time.

19 This to get at the actual accumulative distribution
20 or probability distribution, we need to of course look at the
21 likelihood of this scenario and that is essentially the
22 probability associated with that branch. So, when the
23 probabilities are convolved with these distributions, we have
24 a cumulative complimentary distribution function, CCDF which
25 people in performance assessments are used to looking at that

1 expresses the release rate. Here are the curves that express
2 the release rate from zero time out to 10,000 years. These
3 are the individual paths or end branches. We can see the
4 increasing release as a function of time. When we convolve
5 those with the probabilities for each one of those, we come
6 up with CCDFs that look like this (indicating). This is
7 shown for one isotope Cesium 135.

8 One of the important things, I think to point out,
9 in doing this for Phases 1 and Phase 2, the actual location
10 of this curve, its level or amplitude relative to the EPA
11 criterion is not the important part of what we are doing.
12 What we are trying to do is to show that we have developed a
13 methodology that can be useful. We have also done
14 sensitivity analyses to try to get a handle on in the first
15 cut what some of the most important issues are.

16 For example, what is shown up here and it is
17 difficult to see, I understand, but looking at different flux
18 levels of ground-waste flux ranging from four millimeters a
19 year down to half a millimeter a year, if we could just look
20 at it in general, these are the scenarios. You can see those
21 scenarios in the heavy lines or those scenarios that lead to
22 the highest and earliest releases. Those are the dash lines
23 that are clustered more down in this area. The one in the
24 half a millimeter case are essentially down with very little
25 or no release in the 10,000 year period.

1 This type of dissection and sensitivity shows that
2 essentially these types of factors flux in particular is one
3 that comes through as being a very important element of the
4 model. This is the spirit so far, of what the methodology
5 has attempted to do, is to use this to show what might be
6 important and to demonstrate that it works.

7 Well, let me move on then to the good stuff, and
8 that is basically dealing with the fault displacement node of
9 this logic tree. Basically, I want to deal only with the
10 fault displacement hazard and outline a methodology that was
11 put together to try again, primarily by myself, with the help
12 of Bob Youngs and Donald Wells to try to capture what I think
13 are the major concerns related to fault displacement hazard
14 at the site. I'll talk about at the very end, we are in the
15 process of asking now, several experts to develop their
16 models and to assign their level of uncertainty to the
17 various components.

18 The basic fault displacement model that we envision
19 has two parts. The first part is basically the earthquake
20 source model. This is standard for probabilistic seismic
21 hazard analysis of any type for laboratory ground motions or
22 whatever. Essentially it is defining where earthquakes are
23 going to occur, what types of geometries the faults are going
24 to have, the maximum earthquakes that would be expected for
25 each individual source and the earthquake occurrence rates.

1 That basically defines the earthquake occurrence part of the
2 problem.

3 From that we are dealing specifically with fault
4 rupture and not vibratory ground motion or some other
5 element. And to get at that, I would say this is very
6 standard and is done all the time; this part is done very
7 rarely. There are a few models available that give us a full
8 description of the fault rupture part of the problem and it
9 leads to, I think the good opportunities for a lot of
10 insights and alternative modeling procedures.

11 One of the things that we thought was important as
12 I'll show is that typically fault ruptures at the surface or
13 at the near surface are complex and are often composed of
14 primary ruptures as well as what we call secondary faults.
15 We need to look at that distribution of secondary faults and
16 look at the probability of intersection of either primary or
17 secondary faults with the repository. And we need to
18 establish that probability that that will occur. We also
19 need to establish the probability that certain amounts of
20 displacement will occur within the repository.

21 The way we approach the problem is to first look at
22 the distribution of faulting in the repository area. I think
23 we apologize for the difference in scale. The conceptual
24 repository boundary is shown here and the faults that have
25 been mapped in the vicinity of the site are also shown. What

1 we are trying to capture here is the probability that the
2 individual faults either those that are mapped or those that
3 are not mapped will intersect the repository and that is
4 treating the repository in three dimensions. And that will
5 occur during some individual event. We treat the problem by
6 first assigning some faults, assuming that some faults are
7 what we call primary faults and are those that have the most
8 displacement and appear to be more major features in the
9 region. Those are outlined in yellow here. And then,
10 looking at secondary faults that may occur around those.

11 I think you could treat the problem in two ways.
12 You could say that basically the primary faults is where the
13 action is and that is what we need to consider or we could
14 say that you basically should consider the possibility of
15 secondary faults or other types of deformation around these
16 primary faults. As I'll talk about, I think our present
17 level, again this is a snapshot in time, our present level of
18 uncertainty about where future ruptures will occur demands
19 that we treat more than just the primary faults in the model.
20 I think we will see we haven't gotten our opinions back from
21 the experts yet, but I think we will see that several of them
22 fill with this secondary faulting part of the problem is
23 something that needs to be incorporated into the model.

24 What we do to start out is for the first part of
25 the earthquake occurrence or the earthquake source model is

1 to basically develop the types of source characteristics that
2 were familiar for any type of probabilistic analysis. We
3 look at, for example, this is the logic tree for the
4 earthquake source part of the model for the Ghost Dance. We
5 have considerations of whether or not it is active. Again,
6 these terms, these particular branches are ones that can be
7 assessed by any individual. If you would like to use another
8 term like, I hate to use capable or susceptible or Category 3
9 or some other term, basically the assessment here is whether
10 or not this has the potential to undergo the seismogenic slip
11 or cause fault displacement in the repository. That is the
12 important part.

13 We leave open other elements like the geometry and
14 dip and depth as I'll show are going to be important to this
15 three dimensional probability of intersection of a fault with
16 the repository. For this purpose or methodology purposes, we
17 use essentially a single value that comes from the average of
18 what we see in the Basin & Range. Obviously there is an
19 uncertainty here that needs to be further characterized.

20 Estimates of maximum magnitude which come from
21 considerations of false segmentation, ruptured length and so
22 on. The slip rate which for the Ghost Dance Fault is
23 particularly poorly defined. I can imagine a considerably
24 broader range of uncertainty here, but it certainly needs to
25 be included. Our model as most other models for earthquake

1 occurrence and probabilistic analyses now rely very heavily
2 on the estimates of fault slip rate.

3 Finally, the assessment of what type of recurrence
4 model, given the slip rate, how do we partition out that slip
5 into earthquakes of various magnitudes, various seismic
6 moments, do we use the characteristic distribution or an
7 exponential. I think that after Dave Schwartz' in sightful
8 talk this morning we obviously would all use characteristic.
9 But to keep that open, we allow for uncertainty in that
10 component as well. A totally unbiased view.

11 One other thing I just wanted to point out, in the
12 characterization of some of those elements, there are these
13 types of considerations. The best estimates now are the
14 models for understanding slip rate on some of the faults in
15 the local area, like the Paintbrush Canyon, Bow Ridge Fault,
16 argue for changes in the rate of slip back into the time
17 presumably even 10 million on out to older time periods, the
18 rates of slip might have been higher than they are in the
19 more recent time periods. As a geologist in making
20 predictions about the next 10,000 years, our best estimates
21 and the ones that we would like to rely on are those that
22 have been taken from the most recent geologic past.

23 In this particular case, we have very few data.
24 John Whitney and others have been developing as much
25 information on Quaternary slip rates as we can get. I think

1 that will be very important when we have indications like
2 this of a change in slip rate over a geologic past.

3 One of the other elements here (indicating) we use
4 that to develop the earthquakes source model and then we
5 begin to look at the problem of the pattern of rupture, that
6 we might expect. This is probably the trickiest part of the
7 problem and this gets into the second component of what I
8 call the fault rupture model. We know from historical
9 surface ruptures not only the Basin & Range, but elsewhere on
10 normal fault systems which we are concentrating on for this
11 model, around the world that the pattern of rupture at the
12 surface and presumably the near surface, say the repository
13 depth of a few hundred meters, we have a broad range of
14 observed behaviors.

15 We see some ruptures like the Pleasant Valley
16 rupture in 1915, that I would consider to be relatively
17 simple. The pattern is one of a large linear trace without
18 too much deformation in the upper plate or the foot wall.
19 Probably the other end of the spectrum at least for the Basin
20 & Range would be that of the pattern of the 1932 Cedar
21 Mountain earthquake. We are hard-pressed to define what you
22 would call the primary fault in this case and have a
23 shattered zone of deformation and individual traces, some of
24 which are not aligned parallel to the overall rupture, but
25 are as much as 10 to 12 kilometers wide. I would say that

1 these probably define the sort of spectrum of what we have
2 seen in the Basin & Range. We need to capture this part of
3 the problem in a fault displacement model. We simply can't
4 say that the primary faults that have been mapped or all that
5 is going to happen. I think we have other cases where we
6 need to consider enough other historical cases that force us
7 to consider the possibility of secondary faulting as well.

8 Now the predictability in detail of that secondary
9 fault is what we have been talking about and I'll have some
10 other comments about that.

11 The way we decided to model the problem was to say okay,
12 let's deal with a primary rupture, a primary fault that is
13 shown here and again these are the more major faults and
14 larger amounts of cumulative slope and so on. And to allow
15 ruptures to occur along those, of course the size of that
16 rupture both the length and down dip width and in turn the
17 rupture area is directly magnitude dependant by some very
18 well established empirical relationships, will then allow
19 that rupture, magnitude dependant rupture and size to appear
20 randomly along the fault. Then, we will consider the
21 possibility of deformation of secondary faults off of that
22 main fault.

23 Now we could do this by saying we are going to
24 assume the secondary faults will occur where other map faults
25 are if we believe that, or we can assume that secondary

1 faults will occur randomly within a zone about that primary
2 fault. We have chosen the latter. We have chosen a model
3 that says that the primary faults are where the main action
4 will be; the secondary faults will occur randomly within a
5 zone about the primary rupture we will get into and we will
6 have more discussions about that later.

7 Again, looking at the primary rupture itself, we
8 have relationships like this to give us a good handle on the
9 area of rupture that would be expected for a particular
10 magnitude. So, coming out of our earthquake source model is
11 the frequency of occurrence of various magnitudes and can
12 directly relate that to ruptured area and randomize the
13 location of the primary rupture on the primary fault.

14 What about secondary faults? It's a little bit
15 tough. What I am going to be showing are a series of plots
16 that we have put together based on, and Donald Wells is the
17 fellow that did all the leg work, based on a series of normal
18 fault ruptures world-wide, but most of which come from the
19 Basin & Range province. You'll see in many cases the large
20 scatter in the data. We are not trying to regress
21 information one parameter on another and to try to arrive at
22 linear relationships. What we are trying to look at is the
23 range of observed behaviors on historical ruptures. What you
24 are going to see is that some of these are basically
25 shotguns. If it is a shotgun we will incorporate that range

1 in the modeling.

2 What we do, I should say overall, the model follows
3 now a simulation. We have a earthquake occurrence. We will
4 then lead to a series of simulations which means we allow for
5 earthquakes at various magnitudes on all the faults in the
6 region to be occurring and each time will be running
7 simulations that vary the width of the zone of deformation
8 and the amount of slip and so on.

9 Basically, this is a plot that shows several
10 historical ruptures. When we did this the first time we
11 looked at the width of the zone of deformation at the surface
12 as it was. Then we had some indications and we would expect
13 mechanically that the width of the zone of deformation and
14 the hanging wall should be wider than that in the foot wall.
15 So, we looked particularly at the width of the zone on the
16 hanging wall and on the foot wall.

17 What we are seeing here is a function of magnitude
18 for a series of earthquakes. The width of the fault zone as
19 shown in the hanging wall is the width of the hanging wall
20 deformation. The diamonds are showing the foot wall
21 deformation. So, for any particular earthquake, you have two
22 widths up here; one for the hanging wall and one for the foot
23 wall.

24 We see in general an increase in the width of
25 deformation as a function that is a function of magnitude but

1 there's certainly a lot of exceptions. What we will do then
2 in the simulation is allow that width to vary from
3 essentially zero up to an upper bound of observation.

4 The other way we treat the problem is to try to
5 look at, if it looks like the data are telling us something a
6 little bit more strongly than just a uniform distribution, we
7 will try to assign a distribution to this. We looked at the
8 ratio of the foot wall, the hanging wall, the fault zone
9 width and as you can see in almost all cases or virtually
10 every case, the width of the zone of deformation of the
11 hanging wall is broader than in the foot wall. And that is
12 obviously consistent with what we expect for normal faults
13 with antithetic faulting in the hanging wall, graben
14 formation and so on occurring almost entirely in the hanging
15 wall of the deformation.

16 In this case, we see that we have most or, many of
17 the observations are occurring with a ratio of about .4
18 between the foot wall and hanging wall fault zone width. So
19 we model this as a distribution that we can show as a
20 discreet distribution that looks like this. It allows us to
21 include that consideration.

22 So as we go through the simulation for a given
23 magnitude, we'll have a given fault zone width, and we will
24 have a ratio between the hanging wall and foot wall.

25 We want to look then at how much secondary faulting

1 occurs. What are the lengths of secondary faults as opposed
2 to the lengths of the primary rupture. We might have a
3 primary rupture that is 20 kilometers long and we add up the
4 length of all the secondary faults and it is half a
5 kilometer. That is very different than if it is 20
6 kilometers of primary rupture and 20 kilometers of secondary.
7 So, essentially that is the ratio that we are looking at
8 here. We tried to see whether or not that ratio varies as a
9 function of magnitude; it didn't seem to. The only thing
10 that seems to be associated with is fault zone width; the
11 overall width.

12 That is basically saying that the wider your fault
13 zone is, the longer the length of secondary faulting. The
14 more secondary faulting you have. This why view all this,
15 and the reason for it is we are going to be dealing with the
16 likelihood of faults intersecting the repository, which is a
17 three dimensional space. So, we need to deal with how much
18 secondary faulting actually occurs to quantify that. That is
19 what these relationships do. In this case we used three
20 probabilities or three levels that describe that distribution
21 of fault zone width as a function of the ratio.

22 I should say there is another handout besides the
23 viewgraphs that is a preprint of a paper that Bob Youngs and
24 I have in the High-Level Waste Conference in Las Vegas that
25 would go into a good bit more detail in this part of the

1 model.

2 Just to give you a feel for this for particular,
3 just looking at just the secondary fault part of the problem,
4 looking at the length of secondary faulting that occurs
5 within the repository, this is what it looks like. We are
6 dealing here with the length is over here in kilometers or we
7 are dealing on the order of 100 or 200 or 300 meters of
8 secondary faulting through the repository in three
9 dimensions. Remember we are allowing our rupture through
10 three dimensionally along the primary fault as well as long
11 secondary faults.

12 We see for example that a more distant fault, the
13 Paintbrush Canyon exists way out to the east of the site, the
14 probability or the likelihood or the length of secondary
15 faulting that occurs within the repository is low. But, even
16 though this fault does sit well out, would not rupture as a
17 primary fault through the repository, there is a finite
18 likelihood of secondary faulting related to that fault
19 through the repository itself.

20 Likewise, for Solitario Canyon which exists very
21 close, it is off to the west of the site, basically the
22 repository sits in the foot wall of that. But at least to a
23 relatively significant links of secondary faulting through
24 the repository.

25 The Ghost Dance was the only primary fault that we

1 modeled through the repository itself. Again, this is the
2 link of secondary faulting, it is relatively less because it
3 would be the secondary faulting just around Ghost Dance.

4 Well that gives you the likelihood of various
5 amounts and various lengths of faulting through the
6 repository. What about the amounts of displacement? Well we
7 have relationships like this one, that relate the amount of
8 displacement, average displacement in this case. We have
9 similar relationships for maximum displacement as a function
10 of magnitude. These are surface observations, empirical
11 relationships that have got a good bit of scatter, but
12 basically show the amount of displacement on primary faults
13 as a function of magnitudes. This gives us a direct
14 indication; we can tie it back to the magnitude on a primary
15 fault.

16 For secondary faults, this is one of my favorite
17 plots, we have seen, well number one, I think it is important
18 to show that we have had virtually no cases where the amount
19 of secondary displacement has exceeded the amount of primary
20 rupture. That's nice. We have seen many cases where the
21 amount of secondary displacement has been very significant,
22 up to 80 percent of the primary. And this would be cases of
23 large graben formation for example; big antithetic faults
24 that rupture at the same time. And, you've got three meters
25 of displacement on the primary fault and two meters on the

1 back facing antithetic scarp. Those types of things we do
2 see and should be incorporated into a model that is trying to
3 capture that secondary faulting part of the problem.

4 So here, I think in the fact that there is a
5 uniform distribution, our simulations basically allow for the
6 amount of secondary displacement, the ratio to be anywhere
7 from zero to 80 percent of the primary displacement. So some
8 of these secondary faults can be very significant.

9 Why deal with the amount of displacement? Well, I
10 think that the issue that hasn't been resolved to us is how
11 much displacement to canisters these boreholes can withstand.
12 Is it a centimeter? Ten centimeters? What is it? Right
13 now we are not sure so we will assume that the amount of
14 displacement is important and we quantified it for a couple
15 of values for one centimeter and for ten centimeters.

16 Well the process of looking at the likelihood then
17 of canister intersection is a simple geometric one. We are
18 assuming vertically emplaced boreholes. We looked at fault
19 geometries that have been used and we just looked at simply
20 the likelihood for 35,000 canisters, the likelihood of
21 intersection through these scenarios of the faults with the
22 repository. We are just assuming right now that there is no
23 design aspects to the canister configuration that will allow
24 you to move away from the Ghost Dance, for example, or to
25 avoid other faults in the excavation that you would say could

1 potentially have movement. We are using what we call, what
2 Bert Swan called figuratively a "dumb model", that basically
3 says, I don't agree with, basically says you have got a
4 primary fault and you have got a halo of secondary faults
5 around you. You are dumb in the sense that you are assuming
6 we don't know where those secondary faults exist. They occur
7 randomly within that zone.

8 Others may feel that maybe we should still be
9 dumber, we are not even sure where the primary fault would
10 be; it is just a zone. Others might say I think we can
11 define where both are; the primary and the secondary faults
12 and we don't need to randomize the problem at all. Intact
13 rock will stay intact rock. So, it's kind of dumb.

14 The results look like this and I will try to wrap
15 up. Basically we are dealing with a couple of, and let me
16 just break the problem down. On the left-hand column this is
17 looking at the likelihood of the canister failure probability
18 for one centimeter of displacement. An engineer plotted
19 these so we call them offset. But really we are looking at
20 dip slope, so it is a displacement.

21 The ten centimeters of displacement are shown on
22 the right side. These boxes essentially represent that the
23 integrated contribution, the fault displacement hazard from
24 primary and secondary faults. So, this is the failure
25 frequency here is essentially annual failure of frequency or

1 annual probability of canister failure. And we are looking
2 at numbers that are on the order of three or four times 10^{-4}
3 of annual probability.

4 Again, I think the absolute level of the numbers
5 isn't so important in this analysis, as for demonstration.
6 But, it is important that when you dissect it you see that
7 the contribution related to secondary faulting is almost
8 equivalent to the combination of the two and the contribution
9 to fault displacement hazard from primary faults is
10 relatively low. An order of magnitude less. When we move
11 into the probabilities for the ten centimeters of
12 displacement, again the probabilities get lower, and the
13 annual frequency of occurrence or probability of occurrence
14 gets lower because of a larger displacement. But the
15 contribution related to primary faulting is relatively small
16 compared to secondary.

17 I think that may be the most important message here
18 is that basically we have a situation at least, inasmuch as
19 this model might be realistic to real world fault cases, our
20 biggest problem right now and our biggest concern would be
21 the halo deformation around the primary fault, which we have
22 termed secondary faulting.

23 Let me just then give you a brief update of where
24 we are on Phase 3. What we are going to do in Phase 3 is to
25 attempt to quantify uncertainty. We have gone through I

1 think and shown that the methodology works and is appropriate
2 and is performance based, which I think is the way to deal
3 with earthquakes or any of these issues, but now we need to
4 really try our best to get a better handle on the
5 uncertainty. I think one thing that is important to
6 recognize and probably everyone realizes that the uncertainty
7 at any one point in time is going to change. We hope that
8 the site characterization program and so on will help reduce
9 the uncertainties of certain aspects of the model. We are
10 trying right now to not only show the level of present
11 uncertainty, but allow that to focus and prioritize the
12 program that will lead to the greatest reduction of
13 uncertainty in the future. This is the type of process that
14 should be done periodically and updated.

15 The way we are handling this part of the problem of
16 quantifying uncertainties particularly for earthquakes and
17 tectonics is through a couple of workshops and through the
18 elicitation of expert judgment. We are trying to show two
19 things. First is how that expert elicitation can occur, and
20 secondly to quantify the uncertainties actually for the
21 performance assessment and recalculate it and show how it
22 works.

23 I think the issue of uncertainty definition of
24 quantification is one that is almost obvious, but, for
25 probabilistic performance assessments, it is essential. We

1 have different ways of doing that, but it has to be done. I
2 think we are dealing with single valued parameters and we are
3 kidding ourselves and we are really trying to show that we
4 have a perfect knowledge about these characteristics and it
5 is very unusual to have that type of definition.

6 The use of expert opinion, notwithstanding Dave
7 Schwartz' slide is a very effective way of trying to quantify
8 uncertainty. I think it is important to express our concept
9 about the use of experts is not one to supplant data
10 collection or the understanding and gathering of new
11 information. It is one that is a process of taking the
12 available data at any point in time and allowing it to be
13 digested and the different points of view to be considered
14 and expressed and incorporated into analysis. I think there
15 has been a misunderstanding by some people that expert
16 opinion elicitation is a process of saying, hey, I don't need
17 data, I've got experts. That simply is not the case here
18 and I think that in the several probabilistic studies that I
19 have been involved with in using expert opinion, that has not
20 been the focus there. I think we are simply trying to at
21 this point in time see what our level of uncertainty is and
22 to demonstrate the use of formal expert elicitation and then
23 to go forward with site characterization. In fact, I think a
24 very good thing to come out of a program like this would be
25 the clear expression of what the important issues are. We

1 see that when we run this through, these are the most
2 important areas. The site characterization data collection
3 could be focused on those issues, not to supplant that
4 collection of data.

5 One thing that is important in many of these
6 studies that have gone on, is a whole field that deals with
7 nothing but expert elicitation and so on. I think it is felt
8 right now that one expert can assign a range of uncertainty
9 and I tried to in my first pass at this. Multiple experts
10 get at something that is called diversity, which these days
11 is something that is seen to be a very good thing to have.

12 Well selection of the expert panel, basically any
13 expert panel again, most of these things I think are
14 motherhood statements, but I think this it is important to
15 point this out. The panel has two purposes and one is to get
16 at and to quantify the uncertainties associated with these
17 issues so they can work their way into the performance
18 assessment. Secondly, we are trying to demonstrate how you
19 do this, how experts of elicitation can be dealt with, expert
20 judgments, workshops can be held, how there can be a free
21 interchange of scientific discussion, regardless of what
22 institutions or government representations are involved. We
23 are trying to demonstrate the process just as much as to
24 actually carry it out.

25 The guidelines for selection are shown here and

1 they deal with experience and capabilities and of course
2 willingness to participate. I think the panel is a balanced
3 one, but I think it should be pointed out that other people
4 could be identified with equivalent skills who would be
5 candidates for this type of panel. We simply didn't have the
6 opportunity to have a lot of people. In fact, there are
7 problems with very large panels in carrying out this type of
8 work.

9 We have asked the individuals to represent
10 themselves and not necessarily their institutions. We found,
11 at least in the first workshop that they have been able to do
12 that. They have been able to represent their own opinions
13 and not worry about whether or not they'll get sign-off from
14 headquarters or somewhere else later.

15 The Panel on Earthquakes and Tectonics is shown
16 here. A lot of people that you have seen before, some of
17 which are in this room. I think it is a good balance between
18 those that are very close to the project and working on it
19 now and those that are somewhat detached and have not been
20 particularly involved in Yucca Mountain, but have been
21 involved in Basin & Range tectonics or probabilistic seismic
22 hazard modeling and so on. So, I think it represents a good
23 group. So far the dynamics of this group in the first
24 workshop have been very good and the interplay has been
25 excellent.

1 To help guide through the process, one of the
2 issues in expert elicitation and there are several, deal with
3 a lot of the dynamics of having experts, how much anchoring
4 takes place, how you get them to interact and how you elicit
5 their opinion and so on? To get that part of the problem,
6 to guide us through that, we have three so-called normative
7 experts, experts on experts who have been involved in this
8 before. They have been helping us through the process.

9 A key element for example would be the aggregation
10 of all of these opinions. Many of the big studies for the
11 Eastern U.S. Seismicity for example, have stumbled through
12 the process of trying to figure out how you take, say eleven
13 experts, and aggregate their opinions. Do you give them all
14 equal weight? Do they weight each other? Do you weight
15 them? How is it done? Some of these people, Bob Winkler for
16 example specializes in the expert aggregation procedure.

17 Finally, our schedule looks like this. We have
18 gone through the first workshop in November. We will be
19 having sample elicitations coming up in a week or two to
20 basically familiarize the individuals with the elicitation
21 process and what it is like having a normative expert sit
22 there who basically doesn't know much about earthquakes but
23 knows how to pull things out of your head and get you to
24 quantify the uncertainties. Everyone will be elicited
25 individually and there will be technical facilitators there

1 too. That process is coming up.

2 We are in the process right now of analysis of
3 issues and dissemination of data sets and there are quite a
4 few related not only to Yucca Mountain specifically, but to
5 similar tectonic environments and we are in the process of
6 doing that now.

7 The March workshop will have three parts, basically
8 begins with a focused discussion on technical issues, have
9 the actual individual elicitations and followed it up by feed
10 back of the assessments that have been made. Following that
11 will be a reporting. A key part of this again throughout
12 this process is the involvement of DOE and its contractors as
13 observers and of participants in these workshops and with the
14 goal of developing a methodology that is mainstreamed, that
15 works, that incorporates the technical issues as we know them
16 now and allows for the Department of Energy to pick this up
17 and to carry it on.

18 Thanks.

19 DR. ALLEN: Thank you, Kevin.

20 Questions from the panel?

21 Bob Kennedy.

22 DR. KENNEDY: Kevin, in your presentation plus in some
23 previous presentations, there seems to be a great deal of
24 concern about predicting fault movements of one centimeter or
25 five centimeters or ten centimeters in an implication that

1 movements of ten centimeters or less are likely to break
2 these canisters. Now, in my opinion rather than putting the
3 burden on the geologists in predicting annual probabilities
4 of fault movements of ten centimeters or less, it would be
5 far better to change the emplacement design if the design is
6 really that sensitive to such small fault movements.

7 In my opinion, we have got a problem with the
8 design if it is really sensitive to such small fault
9 movements because there are so many other ways that over any
10 large number of years we can get differential displacements
11 around these canisters of ten centimeters or more.

12 If that fault displacement issue became one
13 associated with the significantly larger amount of fault
14 movement, I am not sure that the secondary faults would still
15 dominate over the primary. They may or they may not. But, I
16 am very worried about all these studies being done at such
17 small offsets. There is an implication there that these
18 canisters, this emplacement design is vulnerable.

19 MR. COPPERSMITH: I can only comment that our guidance
20 was essentially the air gap concept that would be one that
21 with a centimeter or two we could close the air gap. We are
22 not looking only at canister failure directly, we are looking
23 at the performance assessment model also incorporates
24 essentially closing the wall, closing the air gap and that
25 leading to additional pathways and so on too.

1 DR. KENNEDY: Well, is someone else in this program
2 looking at ways to make the emplacement design more forgiving
3 of movement?

4 MR. COPPERSMITH: I believe so, yes. I can't directly
5 comment on that, but, yes I believe so.

6 DR. ALLEN: But, you yourself, Bob, pointed out
7 yesterday that this is an area where engineers themselves
8 might disagree as to whether some imaginative design is
9 really going to be effective 9,000 years from now.

10 Ed Cording.

11 DR. CORDING: Going further with that air gap question,
12 this is really perhaps not so much directed to you but just a
13 little bit further on here to other people that are concerned
14 with this, is how many air gaps could you lose and not change
15 the performance of the facility. I mean, that is the sort of
16 thing one has to look at. I don't know whether DOE has
17 presented that sort of information to us at this point. But,
18 you can lose air gaps from a little slab in the sidewall of a
19 hole collapsing against the wall of the hole. It's not a big
20 deal, but is it going to be a major concern for maintaining
21 this air gap in isolation?

22 DR. ALLEN: I think we better move on here. There may
23 be comments that we will again take up this afternoon. We
24 are running a little bit late.

25 Thank you, Kevin.

1 The next presentation--well, a group of three will
2 start out with Quazi Hossain all on the ASCE Seismic Design
3 Proposed Guidelines.

4 MR. HOSSAIN: Good morning distinguished panel, ladies
5 and gentlemen. My name is Quazi Hossain. I am here on
6 behalf of the American Society of Civil Engineers. We formed
7 a working group to look into the seismic design aspects of
8 the high-level waste repository. I will spend five or ten
9 minutes introducing the activities that we are involved with,
10 and I'll be followed by Bert Swan and Walt Silva this
11 morning, and in the afternoon by Mike Hardy and Ken Mark.
12 They are going to present in a little more detail about the
13 different aspects of the seismic design of waste repository.

14 For those who are not familiar with American
15 Society of Civil Engineers and our different committees, let
16 me now briefly announce a few words. This particular working
17 group is part of the Dynamic Analysis Committee, who used to
18 be part of the Nuclear Structures and Materials Committee of
19 the Structural Division. The Dynamic Analysis Committee of
20 that particular division was chartered to look into various
21 aspects of nuclear facilities design, primarily concentrating
22 on nuclear power plant design.

23 Dr. Kennedy used to head that particular committee
24 for many years. Presently, Bob Kassawara of EPRI is the
25 chairman of that inner group. A few years back, you know,
26 some of the committee members expressed some desire to come

1 up with an ASCE special publication that will summarize the
2 state of the art for the seismic design of high-level waste
3 repository, providing some guidelines which can eventually be
4 used by the industry or DOE to develop a detailing of
5 criteria.

6 We went through some difficult times of forming
7 that group. Finally, about two years back, you know, the
8 committee was formed and we met about eight or nine times,
9 and we drafted a rough--or the first draft of the document
10 which is being reviewed by various committee members, as well
11 as our certain peer groups.

12 Our objective was to summarize the state of the art
13 and providing some recommendation where possible, and
14 familiarize the reader with the different controversial
15 issues that are presently being worked on by different
16 groups. We are also trying to have a consensus on different
17 issues and see whether we can come up with some
18 recommendation which can be useful for the industry.

19 The process through which we want to develop this
20 in a publication is as follows: From the working group, we
21 are going to develop the draft guideline, which we have now
22 with the first draft, and before this draft is reviewed by
23 the higher ASCE organization or committees, we are planning
24 to hold a conference or symposium, specialty symposium where

1 this draft would be presented in the form of about ten
2 papers. We are also inviting outside industry experts to
3 submit and present papers in that conference, and based on
4 the discussion that will go on in that conference and the
5 proceedings, we are going to modify the draft that we have
6 prepared, and then it will go through ASCE peer review before
7 it is eventually published as an ASCE special publication
8 which, we think, will have the status of a guideline, not a
9 standard.

10 Presently, the scope of the document or the
11 contents of the document will be--will have six chapters
12 addressing the various issues of high-level design, high-
13 level waste repository design and primarily from seismic
14 consideration, seismic and other analysis and design
15 considerations.

16 The first two sections will be introductory and
17 description, general description to establish the terminal
18 loads and different components of the repository. Section
19 three of the document will provide the latest research on
20 fault characterization and ground motion characterization,
21 with some recommendation on the methodology.

22 Section four and five will provide some general
23 criteria on the design aspects of both subsurface as well as
24 surface facilities, and Section six will provide some

1 guideline for instrumentation for monitoring purposes.

2 The schedule with which we are working presently is
3 that we have our draft, first draft complete. The topical
4 conference to get industry's input, as well as a discussion
5 on our original draft will be in August 19 and 20. It will
6 be in San Francisco, California. After the conference, based
7 on the discussion, the draft guideline will be finalized from
8 the working group by September of this year, and we plan to
9 get ASCE's review within the next three months following
10 September, and our target date is to publish this document by
11 the middle of next year.

12 Before I turn it over to Bert Swan, I want to
13 express my thanks to the Board and especially Leon Reiter for
14 inviting us here and giving us this opportunity to explain
15 what we are now doing, and we would also like to invite all
16 those who are interested in it to our August 19 and 20
17 symposium where we'll be presenting the details of our draft,
18 as well as other industry experts will be presenting papers
19 on the seismic and dynamic analysis and design issues of the
20 high-level waste repository.

21 With that, I will turn it over to Bert Swan.

22 DR. ALLEN: Thank you.

23 Bert, you're on again.

24 MR. SWAN: There are advantages and disadvantages of

1 being late in the program. The disadvantage is we're rapidly
2 approaching lunch and we want to try to move through this
3 stuff quickly. The advantage is, Kevin showed most of my
4 slides so I can move through it very quickly. Also, I'd like
5 to thank David for the presentation he made earlier. It
6 made, I thought very eloquently, one of the points I wanted
7 to make here today; also thank him for pointing out that I'm
8 not as agile as I used to be when David and I did a lot of
9 the work together along the Wasatch Fault.

10 The topic is going to be talking about assessing
11 the potential for fault displacement for high-level nuclear
12 waste repositories. We've seen this figure before, and it
13 just illustrates one point; namely, that because of the size
14 of a repository, we're going to encounter faults. I think it
15 was Jay Smith who pointed out, you know, if we want to set
16 back from faults, what it's going to do is push us closer to
17 the next one. It's almost a moot point with a repository,
18 but just because of the dimensions of it, we are going to
19 have to address the issue of faulting and how do we
20 accommodate it in siting design and performance.

21 This is not a murder mystery, so I'll just start
22 right up front with the conclusions of the--well, actually,
23 before the conclusions; just define what we mean by potential
24 for fault rupture, and by fault rupture we mean it includes

1 the displacement that may occur along the primary faults, any
2 displacement associated with secondary faults during a
3 seismogenic event, and also any associated deformation,
4 either drag folding or folding across the leading edge of a
5 fault propagation fold. So we're talking about tectonic
6 deformation associated with earthquakes.

7 We define potential in terms of the location and
8 three-dimensional geometry of the faults relative to the
9 location of the repository, the sense of slip or style of
10 faulting, the amount of net slip per event and/or the
11 cumulative net slip that could occur during the design life
12 of the facility of concern, and also, very importantly, the
13 likelihood of occurrence.

14 Now, we can define likelihood of occurrence in the
15 old Appendix A approach, where it is implicit that if the
16 repeat time is less than--in the case of Appendix A--multiple
17 events in the last half-million years, the hazard is low
18 enough that we aren't concerned about it, or we can do it
19 explicitly by defining the earthquake recurrence
20 characteristics either in terms of recurrence interval of
21 events or in terms of rate of slip on the faults.

22 In terms of what the ASCE working group's
23 recommendations are with respect to fault displacement, we've
24 seen a lot of discussion over the past two days about the

1 relationship between Quaternary faulting and potential for
2 fault, and we feel the best way to characterize the potential
3 is to characterize the Quaternary history of fault
4 displacement in terms of its location and geometry, sense and
5 amount of displacement, and likelihood of occurrence.

6 The committee feels there are accepted direct and
7 indirect methods that can be used to quantify these
8 parameters and their associated uncertainty.

9 There are two basic approaches for assessing the
10 potential; either a classical deterministic approach, or a
11 probabilistic approach, a la the discussion of Kevin's
12 previous talk. The committee advocates, recommends the use
13 of both approaches, and with a strong emphasis on the
14 probabilistic approach for quantifying the fault hazard.
15 This is particularly important where the regulatory guideline
16 or, in a sense, low probability of release expressed in terms
17 of ultimate performance. To arrive at that final end value
18 number, we need to quantitatively assess what that potential
19 is.

20 We feel the advantage of the probabilistic approach
21 is that it explicitly quantifies the uncertainty in both the
22 input parameters and in the analytical models or methods that
23 are used. It allows you to use alternative analytical
24 methods and test the sensitivity of the results. It also

1 allows you to test the sensitivity of the results to the
2 uncertainties in your input data and then, importantly, the
3 probabilistic approach should be an iterative approach that
4 goes on throughout the consideration siting design of the
5 repository. Done early in the investigations, it allows one
6 to prioritize the issues and focus the investigations and
7 analyses on those significant factors that are most
8 significant to the performance.

9 We also need to clearly define the relationship
10 between hazard and risk. Faulting, surface faulting is a
11 hazard, and what we're worried about is the ultimate risk,
12 which is an end-line result of that hazard, and that's
13 dependent on design and how you accommodate the hazard in the
14 design.

15 There's several ways--implicit in this is at some
16 point you have to have an explicit level of acceptable
17 hazard, which for a repository really hasn't been designed--
18 defined. The definition is in terms of the probability of
19 occurrence of release to the environment. Given that there
20 is going to be some finite probability of the hazard
21 occurring, there are appropriate design measures to mitigate
22 the unacceptable effects of the fault hazard.

23 Criteria related to a potential for faulting have
24 to be flexible enough to allow for the different functions of

1 the different elements associated with the repository. The
2 surface facilities, for example, have a--it's primarily a
3 preclosure issue. We're concerned with an interval of
4 roughly 100 years; whereas, with the repository itself, we're
5 concerned with preclosure retrievability in that 100-year
6 period, and then the postclosure performance over the long
7 time frame. Also, different elements of the repository have
8 different risks associated with them. Your access ramps and
9 tunnels don't particularly pose a high risk to the
10 performance of the repository in terms of radioactive release
11 to the environment. You may be able to accept some faulting
12 hazard just in terms of low probability of occurrence through
13 those elements, whereas you may or may not be able to accept
14 it for the waste packages themselves.

15 So given the different functions, different
16 elements of the repository, there are different ways that the
17 risk to fault displacement can be mitigated. As I say, one
18 approach may be to just determine that the risk is acceptably
19 low. Another approach would be to locate the facility's
20 waste packages to avoid the active faults; and the other
21 would be to quantify what the potential for fault
22 displacement is in terms of amount of slip per event,
23 cumulative slip over the lifetime of the facility, and then
24 to design for that displacement.

1 I want to touch just briefly on areas of
2 investigation. In terms of studying faults, major tectonic
3 features out to 100 km are probably only an issue in terms--
4 or are an issue only in terms of the ground motions at the
5 repository. Because an underground repository is not
6 particularly susceptible to long period motions, the main
7 emphasis of concern is going to be earthquake sources within
8 about 50 km, but then for fault displacement itself, the real
9 issue is--should be a focus on faults within about 10 km, 10
10 to 20 km of the repository itself. To go out to distances
11 beyond that in assessing potential for fault displacement,
12 what you're really doing is gathering data to better
13 understand your tectonic modeling faults within the region,
14 but it's not going to tell you a lot about the potential for
15 slip in the repository itself.

16 Implicit in any potential for fault displacement
17 investigation is a basic premise, and we've talked a lot
18 about this today, and David's presentation focused on it a
19 lot, and the basic premise of this--and it's implicit in
20 Alquist-Priolo fault zone studies in California, it's really
21 implicit in Appendix A--and that is that future fault slip
22 will reoccur at the same locations and in the same manner as
23 geologically recent--and by geologically recent we mean
24 Quaternary past displacements. Accordingly, then, future

1 fault displacements will only occur on preexisting faults.
2 The likelihood of future fault displacement is going to be
3 related to the frequency of the most recent past
4 displacements, and it's also based on the premise that the
5 tectonic forces that cause faulting are assumed to be
6 constant over the geologically short period of concern; which
7 in the case of a repository is the next 10,000 years.

8 Corollary to this is that unfaulted bedrock will
9 remain on bedrock, will remain unfaulted. That is a basic
10 premise that intuitively we know must be false right from the
11 outset. We know--I guess it was Clarence in the coffee break
12 yesterday morning pointed out the San Andreas Fault wasn't
13 born in one mega event. It hasn't always existed. It has
14 evolved through times, so we know faults do grow along strike
15 and along projection at dip. They have to evolve. But the
16 practical experience, our experience in studying quaternary
17 faults--and David addressed this point earlier today--is that
18 the faulting reoccurs along preexisting fault zones.

19 In every introductory geology course, we learn the
20 basic premise that the present is the key to the past. By
21 studying present day processes, we can then interpret the
22 geologic features in the past, but in terms of the fault
23 displacement, I sort of inverted that, and it's really the
24 past is the key to the future. What's happened on these

1 Quaternary--at the site or on faults during the Quaternary
2 defines what we can expect to see in the future.

3 David gave a lot of examples where faulting
4 reoccurred along--demonstrating where it reoccurred along
5 preexisting faults. One example he didn't show was the
6 surface rupture associated with the 1980 earthquake in El
7 Asnam. I'll just briefly describe this one simply because
8 it's probably--David emphasized how finite and narrow many of
9 the fault zones are. This is probably one of the sloppiest
10 cases where we're dealing with a low angle thrust fault with
11 a wide zone of deformation on the upper plate of that thrust,
12 and a secondary fault, the Beni Rached Fault that ruptured up
13 in this area, and in putting trenches across this fault, this
14 is a--

15 DR. ALLEN: But is this not true of thrust faults in
16 general, pretty low angle thrust faults, whereas Dave was
17 emphasizing normal faults and strike slip.

18 MR. SWAN: Yeah. This is typical of thrust faults, but
19 one of the concerns is the secondary faults on the upper
20 block, and in trenching the primary fault we saw multiple
21 Holocene events along that, Trace 3 events within the last
22 1500 years, and even in the case of the extensional faulting,
23 normal faults on the upper plate which had displacements,
24 vertical displacements comparable to those along the primary

1 trace, those were along preexisting faults that could be
2 defined in bedrock and also in terms of repeated quaternary
3 displacements, and then most notably, the Beni Rached Fault,
4 which extends out several kilometers, about 10-15 kilometers
5 away from the fault. That was the location of displacement
6 during a prior earthquake in 1954, and then there was also
7 geologic, geomorphic, and stratigraphic evidence for prior
8 Quaternary displacements on that secondary fault.

9 So accordingly, the most direct approach for
10 assessing the potential for fault rupture in the repository
11 is going to be to determine the locations and three-
12 dimensional geometry of the faults in the vicinity that could
13 affect the performance of the repository if they were to
14 experience displacement, and then to reconstruct the history
15 of Quaternary displacement on those faults that could impact
16 the site.

17 And in summarizing the recommendations, I allowed
18 that there are two basic approaches to this; deterministic,
19 where you could classify faults as either active or inactive,
20 and then you worry about only the active ones, and typically
21 in a deterministic approach you define for the maximum event
22 scenario, regardless of its likelihood of occurrence.

23 Now, there is implicit in a deterministic approach
24 a definition of acceptable risk, and that is your definition

1 of what faults you classify as active. Now, for the
2 repository, I think implicit in Keith's presentation is all
3 Quaternary faults are considered as active. What's missing
4 in this guideline is what do we do with those in terms of
5 design, and he's clearly placed the burden on DOE to define
6 how will we accommodate Quaternary faults in the design of
7 the repository or mitigate hazards due to them.

8 The other approach is probabilistic, which as I
9 said earlier, explicitly incorporates the uncertainty in the
10 analysis; both the analytical models and the input
11 parameters. A further advantage of the probabilistic
12 approach is that it considers the full range of
13 possibilities, not just the maximum credible event, but also
14 the range of possibilities from the maximum, minimum, and to
15 assess what the most likely event scenario would be. And it
16 allows one, as I said earlier, to test the sensitivity of the
17 results to the various input parameters and prioritize the
18 most significant issues and focus on those that would affect
19 design and performance.

20 I talked about the--or mentioned the most direct
21 way to assess the potential is to look at--reconstruct the
22 history of Quaternary faulting. There's several limitations
23 to the direct approach. Often we have incomplete structural
24 information on the location and geometry of faults. The

1 issue of threshold of detection comes up. Some of the faults
2 maybe have small amounts of displacement or--and do we know
3 where they all are and how do we address that issue?

4 One of the main limitations to the direct approach,
5 the primary one is that we have limited distribution of
6 Quaternary deposits, soils, and geomorphic surfaces that can
7 be used to reconstruct the history of Quaternary faulting.
8 We do not have, in most locations, a complete record of
9 Quaternary deposits going back to the beginning of Quaternary
10 time to get a complete history. And also, there are
11 uncertainties in the ages of the deposits themselves.

12 However, there's several indirect approaches that
13 can be used to get a handle on the potential for fault
14 displacement, and we aren't advocating the use of one or the
15 other. In reality, we think you look at all these approaches
16 and try to learn as much as you can about the faults. Three
17 basic approaches would be the use of regional tectonic models
18 and local structural models to predict future displacement;
19 comparison to historical fault ruptures. Kevin showed a
20 couple of those earlier with the Dixie Valley, Fairview Peak,
21 and the Cedar Mountain Earthquakes, or analogies based on
22 paleoseismic investigations of similar faults in the vicinity
23 of the repository itself.

24 I'll talk just quickly about the use of

1 tectonic/structural models as predictive tools. There's been
2 a lot of discussion in prior meetings about Yucca Mountain
3 about what the appropriate tectonic model for the region is.
4 In terms of two-dimensional models, both listric fault
5 models for the Basin and Range faulting have been proposed,
6 and block rotational or domino-style models have been
7 proposed, and there are advantages and disadvantages to both
8 models.

9 In the listric fault model, it's shown in a little
10 more detail here. It has the appeal from the standpoint we
11 don't end up with space problems in the lower part of the
12 fault that we have with the domino fault. If you look at oil
13 company seismic reflection data, there's a lot of evidence
14 suggesting many of the Basin and Range faults are listric and
15 shallow out at depths of three to five kilometers, and this
16 was a very popular model probably about five years ago.

17 The big problem with a listric fault model is our
18 experience with Basin and Range earthquakes is that the focal
19 depths of the large Basin and Range earthquakes are typically
20 down around 10-15 kilometers, and the location of the
21 hypocenters suggests fault planes with average dips of 50 to
22 60°, which is contradictory to a listric model with the plane
23 going listric and shallowing out at shallow depths.

24 If you look at a domino-style block rotation model,

1 it has the appeal that it may fit the geometry of planar
2 faults going down to seismogenic depths. It's unappealing
3 from the standpoint that you end up with some real space
4 problems in the bottom of the model that you don't have with
5 a listric fault model.

6 Just a quick example of one use of these tectonic
7 models, given or assuming a model, you can use these tectonic
8 models as a predictive tool to predict amounts of
9 displacement on faults. For example, in this case, you could
10 look at this as being Fran Ridge, Midway Valley, Exile Hill,
11 and Yucca Mountain. We can, on the Paintbrush Canyon Fault
12 bordering Fran Ridge, we have good paleoseismic data giving
13 us slip rates, slip per events and aged timing of events.

14 I put another one in here, the Ghost Dance. We
15 have no Quaternary cover to evaluate it, but using the
16 geometry of the blocks fault with ratio, you can scale off
17 and predict ratios of expected amounts or rate of a slip on
18 adjacent blocks as just an example.

19 While the Yucca Mountain area is not as simple as
20 all that, as was pointed out by Dave Tillson in his talk
21 yesterday, we actually see the overprint of different
22 tectonic regimes. We've got the north/south style Basin and
23 Range faulting. We've got the strike slip Walker Lane Belt
24 and the east/west seismogenic zone. One model that's been

1 proposed to account for these different tectonic styles is
2 that we're looking at strike slip at depth and that these
3 blocks at the surface--and this would be a planned view model
4 then--this is a block rotational model. Given this type of
5 model, if we have data on one of the faults, you can use it
6 as a predictive tool to predict descents and rate of
7 displacement on adjacent blocks.

8 We've talked a lot yesterday and earlier today in
9 Kevin's talk on comparisons of fault ruptures associated with
10 historical earthquakes, and already talked about two examples
11 of Basin and Range faults that could illustrate the range of
12 conditions or range of pattern of surface faulting one might
13 expect with the Dixie Valley, Fairview Peak Earthquake, and
14 the Cedar Mountain Earthquake.

15 The goal in applying this to the repository would
16 be to--or the approach would be to try to fully understand
17 what the structural relationships are associated with these
18 two different styles, and then understand the structural
19 relations at the site to say which one is more applicable.

20 Kevin already talked about how we could use
21 compilations of data as a means of probabilistically
22 forecasting what the, for example, what the width--zone of
23 secondary faulting would be to the zone of fault--to the
24 length of fault rupture. I'm not going to go into it

1 further. He also talked about this and explained it in more
2 detail than I can, so I'll just move over these.

3 The other approach, and one I'm particularly fond
4 of, is just comparisons based on paleoseismic investigations
5 of similar faults in the vicinity of the repository, and
6 that's--as I said earlier, we have quite a bit of data along
7 the Paintbrush Canyon Fault, Windy Wash Fault, and some of
8 the other faults. What we don't have, because of the lack of
9 Quaternary cover, is much data on how the Ghost Dance Fault
10 has behaved during the Quaternary, but by looking at the
11 geometry style of faulting in the Tertiary bedrock, comparing
12 amounts of cumulative slip on the Ghost Dance Fault to the
13 amount of cumulative slip on the Tertiary bedrock on the
14 Paintbrush Canyon Fault, we can infer certain ranges of
15 values in terms of slip rates and behavioral styles that
16 won't--and they can't violate the basic constraints of what
17 the cumulative bedrock slip is.

18 Given the small amount of slip on the Ghost Dance
19 Fault, we have to expect either fewer events than we have had
20 during the Quaternary on the Paintbrush Canyon, or the same--
21 or we could model it as having the same number of events, but
22 in that case, the events have to be smaller. So you can put
23 constraints on the size and frequency of events based on the
24 structural comparisons of the two faults.

1 Kevin has already gone through the probabilistic
2 approach for estimating slip per event on cumulative
3 displacement on faults. The best approach is from direct
4 observational data, obviously; would be to reconstruct the
5 Quaternary history on those faults. But because of the
6 limitations and the lack of Quaternary cover, we can't always
7 do that and we have to rely on indirect approaches, and in
8 the probabilistic analysis on primary faults, we can arrive
9 at the estimates of slip per event and Kevin explained the
10 procedure before where we look at the inferred slip rate
11 times the fault geometry to get a moment rate.

12 You combine that moment rate with an earthquake
13 recurrence model and you can use alternative models, along
14 with what your estimate of maximum earthquake and minimum
15 earthquake are to get a frequency distribution for different
16 size events, and then those different size events can be
17 related either using analytical relations or empirical
18 models; for example, those proposed by Bonilla and others,
19 and if Kevin will--I'll put a challenge here that you'll get
20 this paper out this year that would relate earthquake
21 magnitude to slip per event.

22 And that is applicable to the primary faults. The
23 result is essentially the same or identical on the secondary
24 faults, except that you need some sort of scaling

1 relationship to relate amount of slip on the primary fault to
2 the amount of slip on the secondary fault, and as Kevin
3 showed in his view graph, there are a lot of scatter in those
4 data. The only consoling factor is we don't seem to see
5 secondary faults with displacements larger than those
6 observed on the primary faults, so we can do it by looking at
7 just the historic data sets and the scatter in the data
8 there, or we can look at fault-specific structural models.

9 The main source of uncertainty in the probabilistic
10 analyses, the hazard is primarily driven by slip rate and
11 there are uncertainties in the slip rate both in terms of the
12 amount of displacement. That we can generally fairly tightly
13 constrain, although there's some uncertainty as to, for
14 example, what the net slip is on the faults in Yucca
15 Mountain. We have a good handle on what the vertical
16 displacements are on these faults, but we don't have a good
17 handle on the strike slip component on some of them. We see
18 evidence that there is a strike slip component, but that
19 gives us some uncertainty in the amount of slip. The biggest
20 uncertainty comes in with the ages of the deposits that are
21 displaced.

22 The other source of uncertainty is then just how do
23 you model your data. This is a plot of cumulative
24 displacement over time for the Paintbrush Canyon and Bow

1 Ridge Fault. Here we've plotted it, you know, it is either a
2 continuously decreasing function with time. The data argue
3 and tectonic models for the area could support that we've had
4 an abrupt change in rate over time. Others have argued that
5 the slip rate should be more linear. But in your
6 probabilistic analyses, you can model the full spectrum of
7 conditions and take into consideration the uncertainties in
8 the data.

9 So sources of uncertainty, probably the most
10 important one are the fault slip rates, the amount of
11 cumulative vertical displacement, sense of slip, and the ages
12 of the displaced quaternary horizons. There's also
13 uncertainty in terms of the slip per event and, you know,
14 defining at any one point along the fault what the maximum
15 slip, you know, does that measured value represent an average
16 value, a maximum value for the slip along the entire length
17 of the fault.

18 The main source of uncertainty and one that David
19 Tillson alluded to yesterday is the earthquake recurrence
20 models; what is the correct magnitude frequency distribution?
21 How do we apportion out that slip rate into slip events over
22 time? We can use, as David was alluding to, the
23 characteristic as being the favored one for predicting fault
24 displacement on particular faults. You could use the

1 classical log normal. One of the problems that has not been
2 addressed in prior probabilistic ones, but certainly can be
3 very readily included in the model, and that's: what is the
4 effect of temporal and spacial clustering and how would that
5 affect the results.

6 Another source of uncertainty is a lot of our data
7 in investigating these faults comes from surface exposures,
8 and there's uncertainty as to how does the behavior at these
9 faults at the surface relate to the amount of displacement we
10 would get at the repository depth, and we can analyze this by
11 looking at historical examples of tunnels that have been
12 ruptured. There are actually very few of these and, to my
13 knowledge, there's been no comprehensive review and
14 compilation of the literature, but in most cases--and I think
15 Bob's comments earlier about behavior of tunnels and ground
16 motions is applicable here. We have a number of case
17 histories, but they're very poorly documented, but we should
18 take a look at those literature and see what they say in
19 terms of what are the likely range of conditions we might
20 expect.

21 One source of data that hasn't been looked at but
22 could be a source of what the variability in the three-
23 dimensional geometry of the fault would be, would be data
24 from underground excavations, primarily from mining where

1 oftentimes the source of mineral deposits are aligned along
2 faults and some of the coal mines in Great Britain, for
3 example, are very well documented and you can get a handle on
4 what the expected variability in the geometry fault--if the
5 fault is down dip.

6 We can also get a handle of it by detailed mapping
7 right there at Yucca Mountain. There are already detailed
8 strip maps being constructed, for example, of the Ghost Dance
9 Fault, and we see that in different stratigraphic levels,
10 different behavior of the fault. In some of the less
11 competent zones, we see wide zones up to 10-30 meters wide of
12 shearing. You move up section into one of the ridge form
13 units and that zone of faulting may taper down to less than a
14 meter wide. So we can expect variability down dip in the
15 faulting and there are ways of getting a handle on it.
16 Ultimately, the data to address that are going to come from
17 the exploratory shaft where we'll have hands-on data to look
18 at what the pattern of faulting is at the repository level.

19 I think in closing, in presenting this to other
20 groups earlier, there's a lot of discussion about the use of
21 probabilistic, and Kevin talked about it, and just to
22 emphasize it, using probabilistic method of analysis to
23 assess fault displacement is not a replacement for data. In
24 fact, in my view, it requires more and better data on the

1 behavior, timing of Quaternary faults than would be required
2 for a strictly deterministic view.

3 I think with that, we're approaching lunch. I
4 don't know if you want to open it for questions or save them
5 for later.

6 DR. ALLEN: Okay. Bert, let's go right on into the
7 final presentation of the morning, because I think that'll
8 put us out of here about twelve-thirty. Then we can take up
9 questions later, if necessary.

10 The final presentation is by Walt Silva, also
11 representing the ASCE group, on ground motion.

12 Thank you, Bert. Indeed, there may be questions,
13 but let's take them up this afternoon. In fact, I have some
14 questions.

15 MR. SILVA: Well, this presentation is going to be on
16 the aspects of the design guide, or consider the assessment
17 of seismic design loads, and contributing authors to this
18 part of Section 3 of the design guide is Carl Stepp and Robin
19 McGuire.

20 We're dealing with vibratory ground motion.
21 Sources of vibratory ground motion due to earthquake, of
22 course, but we also have to consider vibratory ground motion
23 due to excavation, thermal loading, and explosions; both
24 UNE's, underground nuclear explosions, surface explosions,

1 and missile impact as well.

2 The vibratory ground motions due to excavation are
3 just induced seismicity due to stress perturbations resulting
4 from material extraction. Significant levels are generally
5 associated with very deep excavations, greater than a
6 kilometer depth and high volumes of material extraction, and
7 due to the relatively shallow depth of the repository, we
8 don't consider that this excavation-induced seismicity to be
9 really a significant or a controlling issue.

10 The vibratory ground motions due to thermal loading
11 is again induced seismicity due to stress perturbations, but
12 really resulting from thermal load. Here we're recommending
13 a combined analytical approach to estimate levels of activity
14 to get some kind of handle on frequency magnitude statistics.
15 The combined analytical approach then is thermal mechanical
16 modeling to estimate expected stress perturbations due to the
17 thermal load, and then go about--in areas of the world where
18 there's reservoir-induced seismicity, to try and relate the
19 seismicity to the effects of the reservoir impoundment on the
20 local stress field just to try to get a handle on expected
21 levels of activity.

22 So we're back to, then, vibratory ground motions
23 due to explosions. Certainly, the underground nuclear
24 explosions we have to consider. We'll get into that very

1 briefly, and then we have surface explosions and missile
2 impacts. Surface explosions really are due to construction,
3 and those ground motions due to surface explosions are very
4 well characterized with typical blasting curves, and in
5 missile impacts we don't think are a significant issue
6 because very little energy gets into the ground from missile
7 impacts. It's mostly a pressure, an over-pressure problem or
8 an issue.

9 The approaches for specification of design ground
10 motions, we have deterministic approaches, probabilistic
11 approaches, combined deterministic and probabilistic, and
12 that's what we're recommending is the combined deterministic
13 and probabilistic, primarily because the probabilistic
14 permits a formal treatment of uncertainty.

15 On the deterministic approach, requirements are
16 explicit identification and evaluation of all the seismic
17 sources in terms of magnitudes and distances, propagation
18 path effects or ground motion model attenuation relations,
19 and site effects, local site specific amplification which
20 applies to both rock and soil sites.

21 The approaches or methods that are available in the
22 deterministic approach, we have empirical methods,
23 theoretical methods, the calibrated theoretical methods. We
24 kind of separated out the theoretical methods into two types,

1 stochastic methods, and a recommended approach, and our
2 recommended approach is really a combination of the above,
3 with a strong emphasis on the empirical.

4 On the empirical, it can further be separated. To
5 look at data needs, it's perhaps easiest to separate the
6 empirical then into a couple of classes; the site
7 independent, which is really a direct regression on recorded
8 data and sometimes referred to just as the empirical
9 approach, then a little different approach, which is also
10 empirical but is called site dependent or referred to as
11 statistical, or the average of representative data, and
12 that's where you basically try to get ground motion data
13 representative of the magnitude, distances, source path and
14 site conditions under consideration, and then scale them to
15 the correct magnitudes and distances and do straight
16 averaging and generate fractiles and response spectra.

17 Then there's also the indirect empirical
18 relationships and calibrated empirical relationships, and the
19 indirect empirical, it's really an attempt to expand the
20 strong ground motion data base to areas where there are
21 little strong ground motion data; try to make use of velocity
22 data, or perhaps Wood-Anderson data, displacement data,
23 applied to low seismicity areas. It's an attempt to
24 determine how motions scale with distance for a given region,

1 and the basic inference is that strong ground motion scales
2 in a similar manner.

3 The calibrated empirical has a basic assumption
4 that you assume the ground motions are region independent at
5 close distances. You develop an attenuation relation where
6 there are data at close distances for the magnitudes under
7 consideration. Then you use the attenuation model which
8 accommodates the regional differences in attenuation to
9 correct or scale to the region of interest.

10 Theoretical methods, we can separate these out into
11 a few methods. There's the purely theoretical, and in this
12 method you have a complete analytical model for strong ground
13 motion. That includes a source, a path, and a site.
14 Currently, I believe that these methods are most useful for
15 studying source physics. They have generally too many
16 parameters. They are generally sensitive to a couple of the
17 parameters, or overly sensitive in that case and they're non-
18 robust, and to date, they're generally poorly calibrated.
19 They're overall too deterministic.

20 In an attempt, then, to kind of de-tune the purely
21 theoretical, another class of models has come about; the
22 semi-theoretical, and in this class of models they combine
23 the analytical with the empirical. You use a simple
24 analytical model combined with recorded ground motions to

1 reduce the number of free parameters. In that sense, then,
2 the model becomes much more robust and this class of models
3 is very well-calibrated.

4 There's also another theoretical approach which we
5 separated out because it's basically quite different than a
6 purely theoretical, and that is the calibrated theoretical,
7 and here they assume an extremely simple earthquake source
8 scaling relation. The relationship is then calibrated with
9 small earthquakes. This class of models was really only
10 applied in early attempts in predicting strong motions in the
11 central and eastern U.S., and it's, as a consequence of being
12 a very simple model or class of models, it results in an
13 unacceptably high degree of uncertainty, and so they're just
14 not used anymore.

15 A fairly recent class of models which is showing
16 good promise in capturing elements of strong ground motions
17 is the stochastic methods, and in this technique, the
18 earthquake ground motions are considered random "gaussian"
19 noise, a theoretically-based seismic source and way
20 propagation parameters are used. An advantage of the method
21 is that one can estimate these parameters with small
22 earthquake data. You don't need to record large earthquakes
23 to predict ground motion from large earthquakes. The model
24 is extremely simple. It has few parameters. They're robust,

1 and the model is also well-calibrated.

2 Recommended approach then is a strong emphasis on
3 empirical and statistical, backed up where there is
4 uncertainty on the empirical or statistical-based
5 relationships, the modeling should be done with a stochastic
6 and/or the semi-empirical approach.

7 The probabilistic method, the advantage of the
8 probabilistic approach is that you can explicitly include
9 alternate models, source models in terms of style of
10 faulting, activity rates, ground motion models, attenuation
11 relations, and also site effects. It also allows you a
12 formal treatment of uncertainty, and you can accommodate
13 dispersion in ground motion models.

14 The actual method of doing the probabilistic, you
15 have to characterize the earthquake sources. You don't sort
16 of defer that because you're using probabilistic. As Bert
17 had indicated, you have to do just as much work, and perhaps
18 more, in trying to characterize sources in the variability,
19 the location and geometry, earthquake recurrence, maximum
20 magnitudes of these expected events. You also need the
21 ground motion models of site effects, then one does a
22 probabilistic analysis and it results in a hazard curve where
23 you have a formal treatment of uncertainty, as well as
24 dispersion in the models.

1 Kind of a schematic of the process. In the first
2 step, then you define the source geometry, the source and
3 site geometry in terms of a distribution of distance and from
4 the source to the site. You also have to define a magnitude
5 distribution or occurrence rate for each source, which
6 relates the magnitude and the number of events. Then you
7 need a ground motion model, which here schematically is
8 perhaps maybe peak acceleration, some peak ground motion
9 parameter and how it varies with distance and with magnitude.
10 Also shown here is an example of dispersion of the ground
11 motion model.

12 Then one does a probability analysis where you
13 integrate over all magnitudes and all distances, and it
14 results in a hazard curve which relates the probability of a
15 peak ground motion parameter, say peak acceleration being
16 exceeded at a time interval T as a function of that peak
17 ground motion parameter, and schematically, we have here that
18 perhaps this is a median value and the fractile is a 1Σ ,
19 representing the uncertainties.

20 An example of alternative models, ground motion
21 models, for example. We have three empirical ground motion
22 models for peak horizontal acceleration versus distance, and
23 for three different magnitudes. So the probabilistic
24 approach allows incorporation of all three ground motion

1 models, and as well, for example, at magnitude five, one can
2 see some rather large dispersion in the models at close
3 distances, and so one can also incorporate dispersion in
4 these models that's formally correct because it's based upon
5 regressions of empirical data.

6 The recommended approach then is again the
7 combination of the probabilistic and the deterministic
8 approaches, and the rationale for combining the two could
9 perhaps be easily, or most easily demonstrated with a figure
10 here. We just spoke about the probabilistic in the sense
11 that it integrates over all magnitudes and distances, and
12 that's really an advantage because you've correctly
13 accommodated for the contributions of large magnitudes and
14 small magnitude earthquakes. But then you can go back and
15 de-aggregate and look at the contribution, and that's what
16 this figure depicts here, where we have a per cent
17 contribution versus magnitude for a given ground motion
18 parameter; here peak acceleration and spectral acceleration
19 at a couple of different periods, and this is for three
20 different frequencies, and the point I just wanted to make
21 here that, for example, if you look at peak acceleration, we
22 can see that most of the contribution is coming from small
23 magnitude earthquakes, less than five, and certainly less
24 than five and a half.

1 If we, on the other hand, go and look at spectral
2 acceleration, say, at one second, the converse is true. Most
3 of the contribution is coming from large magnitude, or
4 magnitude seven earthquakes, and this is where the
5 deterministic then comes into play. One can go back and look
6 at this in detail and to see what aspects of the source path
7 or site are controlling these kinds of contributions, and if
8 these things are internally consistent, both the
9 probabilistic and the deterministic.

10 Now, characterization of ground motions due to
11 underground explosions, well, you have to construct a ground
12 motion model so it's identical to that of earthquakes. We
13 need to have a model of how the ground motions change with
14 yield, source yield, depth, and distance. It requires a
15 large data set of recorded motions and we feel that that's
16 reasonably well-constrained at the Nevada Test Site.

17 Subsurface ground motions. The procedure we're
18 recommending here is that we specify the control or designed
19 ground motions at an outcrop of competent rock. We define
20 the competent rock as that having shear wave velocity
21 exceeding 2,000 to 3,000 feet per second, and we would like
22 this control point to be preferably located at the repository
23 ground surface. We're recommending then that ground motions
24 be propagated to the depth of interest for analysis purposes,

1 with proper accommodation of appropriate wave fields; that
2 is, vertically or inclined, compressional and shear waves.

3 A very, very important aspect of this propagation
4 of the motions is the site technical characterization. We
5 need an accurate representation of the three-dimensional
6 variability of the dynamic material properties. That
7 includes the P and S wave velocities, P and S wave damping
8 and densities and how they vary in a three-dimensional manner
9 because the best ground motion model in the world still won't
10 give you the correct answer unless you have the right inputs
11 to it, and it would also be of importance to have the degree
12 of uncertainty in the dynamic material properties.

13 So the recommendations, then, again, the theme
14 still comes through, I guess; the combined probabilistic/
15 deterministic approach, and we want to have a strong emphasis
16 on empirical ground motion models, and of course, you never
17 have enough data of the region of interest, but these
18 empirical models should be supplemented only with well-
19 calibrated analytical methods, and that's all I have.

20 DR. ALLEN: Okay. Thank you, Walt.

21 Are there questions or comments? Russ McFarland?

22 MR. MCFARLAND: I wonder if you would amplify on your
23 comments with regard to seismic motion induced by thermal
24 loading?

1 MR. SILVA: What kind of amplification do you--

2 MR. MCFARLAND: I don't understand what you're saying.

3 MR. SILVA: Oh, okay. Let me put this slide back up
4 again.

5 The idea here is that the seismicity would be due
6 to perturbation in the stress field as a result of thermal
7 expansion due to the thermal load. So you can do thermal
8 mechanical modeling to try and see what the size of the
9 perturbation you might expect from the thermal load. Then if
10 you go to areas of the world that have, say, have had
11 reservoir-induced seismicity, one can calculate the stress
12 perturbation due to the impoundment of the fluids, and to try
13 and get an idea, if you can relate the same sort of stress
14 perturbation to the frequency of earthquakes, the level of
15 seismicity.

16 DR. ALLEN: Are there any initial models or calculations
17 that indicate this is realistic? I mean, since the area of
18 the thermal load, the stress perturbation really is very
19 small as compared to seismogenic depths, and so forth. I
20 just--

21 MR. SILVA: Well, the type of seismicity we expect here
22 from the thermal load is going to be very, very small
23 earthquakes; magnitude zeros, minus one's, minus two's.

24 DR. ALLEN: Very low, I see. Okay.

1 MR. SILVA: Yeah, that are contained within the
2 repository volume. We don't really expect them to induce
3 earthquakes of a diffuse nature at great depths below the
4 repository.

5 DR. ALLEN: So in that case, it might be very different
6 from reservoir-induced seismicity--

7 MR. SILVA: It could be.

8 DR. ALLEN: --where we apparently have generated or
9 triggered earthquakes of six and a half or so.

10 MR. SILVA: We'd be looking at this for very small
11 earthquakes, a subset.

12 DR. ALLEN: Other comments or questions? Audience?

13 (No audible response.)

14 DR. ALLEN: Okay. Let us adjourn and return at one-
15 thirty. We'll be on schedule then.

16 (Whereupon, a lunch recess was taken.)

17

18

19

20

21

22

23

24

1

2

3

4

5

6

7

8

9

10

11

12

AFTERNOON SESSION

13 DR. ALLEN: May we reconvene, please?

14 We'll continued with the ASCE presentations and
15 we'll reverse the order of the two on your agenda. First
16 this afternoon will be speaking Mike Hardy on the underground
17 facilities design.

18 MR. HARDY: I'm going to be talking about the seismic
19 design guidelines for underground repository facilities. I
20 wanted to, as background, indicate that a lot of this work
21 that we're doing we've been doing with Sandia, and there's a
22 report that pretty much goes through the design methodology
23 that I'm talking about, particularly in relation to drifts
24 for the underground drifts. The contributors in the ASCE

1 committee that are mainly interested in the subsurface and
2 the seismic design have been Archie Richardson, Assad
3 Chowdhury, and Chris St. John has been involved as well.

4 Seismic evaluations are important in a number of
5 items in the repository; a list there of repository design
6 items. One that concerns me is the ground support for the
7 openings, borehole linings and plugs, drift backfill design,
8 seals designs. Also, there may be some concerns about
9 particular items of the equipment for mining or waste
10 emplacement that might be impacted if they're caught in an
11 awkward position during a seismic event.

12 Seismic evaluation also, of course, is important in
13 the performance assessment, which is postclosure concerns.
14 Also, we may be required to do seismic evaluations of the
15 underground repositories for--obviously, for performance
16 assessment and to resolve issues that are raised by various
17 people in interest.

18 Some of this stuff is pretty well-defined in
19 previous speakers, but the time frame of the preclosure is 0
20 to 100 years. In the underground, we're concerned with
21 worker health and safety, and maybe, in some aspects, related
22 to cask accidents or handling. We're concerned with
23 disruption of operations. If they were too frequent it may
24 cause delays in the program and excessive costs. We're going

1 to maintain the retrieval option. That's a concern in the
2 borehole stability itself, and we're concerned about
3 container life. That's in postclosure the container life is
4 of concern.

5 The components of interest in the subsurface are
6 the ramps and shafts, the main access drifts. Each of these
7 components may have different requirements because they're
8 being used more frequently and they may be open for longer
9 periods of time. The emplacement drifts, of course, each
10 drift will see activity during construction and waste
11 emplacement, and then will be pretty much inactive until time
12 of either retrieval of the waste or closure operations, and
13 during that time frame--which is something on the order of 50
14 years--some events might occur, but if they don't have any
15 impact on container life or retrievability, they wouldn't be
16 considered severe. Some rehabilitation could take place
17 before men or materials go back into those drifts.

18 We're talking about design, seismic design of
19 underground openings and I just wanted to put this quote on
20 the board to give the general background of the level of
21 sophistication of subsurface design. It's not as well
22 defined as for surface structures. There is not a lot of
23 technical guidance and codes, design codes and things of that
24 nature in the underground area. It's more experienced-based,

1 analytical, and expert judgment that are involved.

2 The overall design process for the repository,
3 getting information from site characterization, repository
4 design is the thing I'm primarily interested in, but
5 ultimately that design goes into performance assessment.
6 There may be other off mainline activities in design
7 confirmation or evaluation, and this process goes on in time.
8 It's not a one-shot deal as you're aware of.

9 For drift design methodology, we've identified an
10 overall approach for drift design where we consider the
11 stability of the opening without the function of the ground
12 support system as a first cut, and then we go on to the
13 further design of the ground support system. This is based
14 on the assumptions that the site is a reasonably good site
15 and we've selected a site that is not that's going to require
16 an excessive amount of ground support, which is generally
17 considered to be true for the site.

18 But in this design methodology, if you look at that
19 closely, you don't see specific reference to dynamic design
20 for Yucca Mountain, although it is an integral part of the
21 design and comes about in identification of loads and is
22 taken account of in the simplified analysis and later on in a
23 more detailed analysis.

24 Simplified thermomechanical analysis, we're going

1 to be talking about empirical and analytical methods, and
2 then we're going to break analytical methods into quasi-
3 static methods and dynamic methods. Empirical methods, we've
4 talked of rules of thumb and design charts which people have
5 used for quite a period of time. A problem with those
6 methods, they're not well-developed to seismic thermal loads
7 and, of course, in a repository there are more significant
8 loads.

9 Analytical methods, quasi-static methods are where
10 we take the seismic load and calculate an equivalent static
11 load. That's imbedded in the state of the art of design of
12 underground openings using different rock mass models.
13 Dynamic analysis is another layer on top of that where you've
14 got to characterize the ground motions and the dynamic
15 properties.

16 Ground support designs to resist seismic loads from
17 an empirical base, it's common knowledge that you go down a
18 sequence from no support to grouted bolts to reinforced
19 concrete as the seismic load increases. Analytically,
20 whether you're using quasi-static or dynamic analysis, you'd
21 be considering the safety factors on various components.

22 The empirical methods which those of you involved
23 in design of underground space would be very familiar with,
24 this one is Nick Barton's Q method, and it's very useful in

1 quantifying the ground conditions through RQD and joint
2 numbers and joint references and joint water, and stress
3 reduction factors. You put all those things together and for
4 the Yucca Mountain site, I've got a shaded in box there
5 indicating where we think conditions we're likely to
6 encounter.

7 On the other axis is the equivalent dimension;
8 larger openings usually use greater support, smaller openings
9 lesser support, and this particular method--which is based on
10 a lot of case studies--is rather insensitive to the stress
11 reduction factor, which is the factor that incorporates the
12 load or the stress on the system. It would suggest that if
13 you have an additional quasi-static load from a seismic
14 source, that it wouldn't really impact the ground support
15 very significantly. But empirical methods are not based on
16 seismic design basis.

17 This one is one by Hoek. This uses the same rating
18 systems up at the bottom of the Q. The Nick Barton system at
19 the bottom is the Bieniawski RMR system, and it gives you an
20 idea of if you're in a no support, generally no support
21 regime where this is the ratio of in situ stress to strength
22 of the material, so up in this region very low ground support
23 would be required and in this region a very high level of
24 ground support would be required. I didn't show on this one

1 what conditions we expect at the repository, but they are in
2 this general region in here.

3 These are more quasi-static or general design
4 methods for use in tunnels and underground openings. This
5 one, put together by Birger Schmidt, gives another empirical
6 index for rock quality on the bottom. It's a modified RQD.
7 On the axis is the stress strength ratio and this one
8 attempts to identify the modes of failure that are likely, so
9 if we had 40 per cent RQD and this ratio of 0.4, failure
10 would be interlocking, somewhat controlled; structurally
11 controlled through here. As you get higher into the stress
12 level, you end up going into the unstable due to rock bursts.
13 At low stresses, of course, you're in jointed material, low
14 rock quality. Then the material just falls out of the roof.

15 From this information at Yucca Mountain site, we're
16 in this sort of range down here. We're not right up in this
17 very high stress category.

18 From an empirical base, we've heard a little bit of
19 empirical information from the Nevada Test Site in some of
20 the earlier presentations yesterday, and people referred to
21 this information here from Dowding and Rozen, but in terms of
22 quantifying empirical information for seismic design, as Don
23 Deere mentioned this morning, it's very imprecise and it's
24 not well differentiated between the preexisting conditions of

1 rock quality and stress load versus the impact of the small
2 or sizeable seismic load.

3 This information was discussed yesterday in terms
4 of peak particle velocities, number of cases, and whether or
5 not you had minor damage or significant damage, and this is
6 in terms of accelerations and this is the information
7 regarding a breaking point of 0.5g. Above that, it seems
8 that there is some evidence of damage and below that there is
9 very little damage. But you can't--that's not universally
10 translatable to other sites and other situations.

11 This one is from Owens and Scholl, and I think
12 maybe one additional case on it. This one shows different
13 explosive tests or underground nuclear explosions, and the
14 particle velocity up here versus zones of damage, where there
15 was a lot of damage or a little damage. So some of these are
16 the particle velocities of inches per second, so some of them
17 are fairly high. The information is very diverse and some of
18 the empirical evidence that is reported is not--doesn't have
19 the consistent definition of what is minor damage versus
20 another case with what is minor damage, so it's hard to give
21 universal rules out of that.

22 I show this slide as well because it's one from
23 Sharma and Judd and a few people have used information from
24 Sharma and Judd to try and get some information on damage in

1 underground openings. They do attempt to break down the case
2 studies into types of ground support, type of geological
3 materials, depths, and a few other parameters, but the
4 picture is still quite fuzzy in terms of where the damage
5 occurs and how to use these as universal rules.

6 I think with a repository, with the added problem
7 of we're dealing with thermal loads that add a significant
8 amount of stress, incorporating the thermal loads and the
9 seismic loads into an empirical-based scheme is probably not
10 very likely.

11 For the more analytical type of methods, I've
12 broken it down into quasi-static and dynamic analysis. The
13 quasi-static analysis, you estimate peak ground accelerations
14 and translate those into strains and stresses, and then you
15 treat the far field stresses and strains if you like, and
16 then look at the mechanisms of deformation around an opening,
17 whether it be a canister or an intersection, and then also
18 analyze the loads that you expect on the ground support
19 systems, and then you can work in terms of safety factors on
20 ground support. The approach wouldn't be very much
21 different, bottom line, with the dynamic analysis, except it
22 involves a full dynamic analysis.

23 To establish guidance between dynamic analysis,
24 quasi-status analysis, I put together this flow chart of a

1 couple of decision points. In looking at a design of
2 underground openings, we're recommending following procedures
3 that are contained in the report, 15910, authored by Bob
4 Kennedy, the DOE facility's evaluation of hazards, but in
5 that one they talk of establishing usage categories whether
6 the consequences of some event is serious or not, so we have
7 to establish those sorts of usage categories. I might show a
8 view graph in a minute to identify what those sort of usage
9 categories are.

10 In that, Bob Kennedy's report, they identify if you
11 have moderate to high hazards for surface facilities, you
12 need to go and follow a path that includes dynamic analysis.
13 So we'd follow that same sort of logic for the subsurface;
14 establish magnitude and frequency spectrum for the event; and
15 then based on if the magnitude is greater than 0.5g, might
16 need to have dynamic analysis. Then looking at the spectrum,
17 if the wave length is less than eight times the opening
18 diameter, yes, dynamic analysis. If the wave length is short
19 relative to the size of the opening, you need to do this. If
20 the wave length is very long relative to the opening, then we
21 can go with the quasi-static analysis.

22 The quasi-static analysis has been used in a number
23 of other applications discussed various places; St. John and
24 Zahrah have a study supported by the National Science

1 Foundation; suggests this is a method appropriate for
2 preliminary evaluations and when the wave length is long
3 relative to the opening size. They essentially identified
4 and elaborated upon, and the Subramanian Report was the
5 working group report on the--to provide the seismic design
6 basis for the exploratory shaft at Yucca Mountain.

7 Archie Richardson has incorporated into the
8 preliminary shaft liner design for Yucca Mountain. Also, to
9 mention just a historical note, it's also basically
10 incorporated into other reports for the salt repository
11 shaft, and myself and Steve have elaborated upon it for
12 underground drift design for Yucca Mountain.

13 You could break quasi-static design into two other
14 categories of whether you have soil structure interaction or
15 not having interaction. Interaction, you could look at the
16 strains imposed on the ground structure by the seismic wave
17 and just assume that the structure that's imbedded in the
18 rock is going to see the same strains as the rock without the
19 structure being there, or else you can look at soil structure
20 interaction, where the opening and the stiffness of the
21 components that you're imbedding in the material are
22 accounted for. That distinction is sometimes important in
23 soil mechanics. In rock, because rock is stiff, that's not a
24 bad approximation to just have a look at the contribution of

1 the hole itself.

2 These just give you an indication of where we go in
3 this. As I mentioned, we're looking at--on a drift like this
4 we've got a--soils coming up consisting of the P-wave and S-
5 wave. S-wave is usually broken into horizontal and vertical.
6 Knowing the peak particle velocities, you can calculate
7 strains, components of six strains from either a near
8 vertical wave or a UNE, underground nuclear explosion.

9 It's important in applying this to look at the
10 combination of loads that are appropriate, and often it turns
11 out that the in situ system, plus or minus the seismic, might
12 be as damaging to the system as, say, a later loading of in
13 situ plus thermal, because the thermal generally increases
14 the confinement of the horizontal stresses in the system, and
15 the seismic can be considered as a positive or negative wave,
16 and so sometimes that negative wave has a tensile stress or a
17 tensile strain on the body and it, in combination with in
18 situ stress, can lead to rock fallout or instability. But
19 you've got to look at all those combinations of those loads
20 on a drift or borehole liner.

21 In terms of modeling the rock, I show this view
22 graph to indicate that modeling of the rock, there's a lot of
23 different constituents of models for rock in the near-field
24 around drifts and around boreholes, and because we haven't

1 done extensive characterization of the site yet, it's hard to
2 identify if there's any one of these models that would be
3 preferable to any one other; indicate ranging from distinct
4 block models which are U-date kind of models; interaction of
5 blocks, these would be appropriate for highly-jointed
6 materials in the low stress field, up to, say, equivalent
7 continuum elastoplastic models in between those discrete
8 joint models, ubiquitous joint models.

9 Currently, the program is recognizing all these may
10 have different uses in different parts of the design process
11 depending on what conditions we see. The design methodology
12 is relatively simplified because of uncertainties in ground
13 conditions. We translate the design criteria, if you like,
14 to the ground support system and having a conservative
15 assumption as to the loads that are applied to the ground
16 support systems, but then we have to establish acceptable
17 safety factors in concretes and steel liners, or generally
18 rock bolts and shotcrete as possible types of ground support
19 that are needed, with differentiation between the life and
20 consider these the static loads and these are the dynamic
21 loads, but when the dynamic loads are applied, lower safety
22 factors are appropriate for evaluation. There is not really
23 these sorts of things defined in the literature for
24 underground design. That's why it's of interest that ASCE is

1 focusing on these sort of numbers to see if they're
2 defensible or reasonable.

3 In terms of the design loads or the seismic loads,
4 and to put it in a little bit of context to the repository
5 site, I wanted to just go through some of the logic that Bob
6 Kennedy presents in the UCRL-15910, which basically supports
7 the use of a probabilistic approach to establish the seismic
8 loads, and the seismic loads are then dependent on the risk,
9 the usage category as I mentioned earlier. Now, these words
10 here can describe the usage categories, and this was
11 established for non-nuclear path stations, but nuclear
12 facilities, DOE facilities around the country.

13 I think for a repository, we haven't gone through
14 the process of categorizing the subsurface space within these
15 usage categories for the type of usage categories we think of
16 are the opportune for the subsurface space. We don't think
17 of the lower conditions applying to the underground
18 repository. Of course, there may be various components or
19 operations that will be considered on a lower level.

20 Associated with those use categories are
21 performance goals for annual probability of exceedence (sic),
22 and associated with those are, when you're talking about
23 earthquakes for usage categories, hazard exceedence
24 probabilities. So for the DOE facilities, if we're talking

1 about important to low hazard facilities, we've got a
2 probability of hazard exceedence of 1×10^{-3} .

3 Applying that sort of logic to this sort of diagram
4 that comes from Yucca Mountain, this Blume Report that was
5 shown earlier by Terry Grant as well, but this just gives you
6 an idea that exceedence of 10^{-3} on this particular
7 representation of the hazard at the site would give a G
8 factor of 0.3g, and that is also comparable with what the
9 working group in seismic design recommended from the
10 Subramanian Report. It was about 0.3 for design purposes,
11 based on a combination of probabilistic and deterministic and
12 group therapy kind of approaches.

13 But if the hazard was to be low--if you consider
14 for some operations the hazard would be low, then the design
15 loads would be increased. Now, we've been using for
16 preliminary design evaluations, we've been using the
17 recommendations of the working group, which was the 0.3g, but
18 also contained in that report was a recommendation that
19 consideration be given to--for the subsurface design of 0.5g,
20 so this view graph shows lots of numbers, but I wanted to
21 show the relative magnitude of quasi-static seismic loads
22 versus some thermal loads.

23 So these rock mass categories relate to the quality
24 of the rock, and that's so we're dealing with the three-type

1 rock, which is the most probable type of rock that we'll
2 encounter at the repository site; our guess at the moment.
3 The in situ stresses, these are megapascals of the order of
4 seven vertical and three to four in the horizontal sense.
5 The seismic load, this is now for .5g as of the order of 2 to
6 3 megapascals. The thermal stresses in the same rock type of
7 the order of horizontal, additional 9 to a decrease in some
8 locations, giving a combination of loads of this order of
9 magnitude; 16 megapascals versus initial condition. That's a
10 horizontal stress now. This was a--the vertical stress,
11 there's no much change under those sorts of combinations.

12 So that's just an idea of, from the quasi-static
13 point of view, that we're designing for about 3 megapascals.
14 These ones down here represent better quality rock which has
15 higher in situ modulus. Therefore, the effect of a strain
16 generated by a seismic event is of larger stress. In the
17 same token, the higher modulus rock will see a higher
18 thermal load, so in the higher quality rock the stresses are
19 higher. This gives still the relative importance of the
20 seismic load versus the thermal load.

21 Limitations of the quasi-static methods, it does
22 not accommodate rate-dependent phenomena. I'm referring here
23 to a high rate dependent phenomena, not just the sort of
24 creep or slower rate dependent properties. It does not

1 accommodate for accumulated damage due to repeated cyclic
2 loading; requires simplifying assumptions for combinations of
3 wave types, and that's common to seismic design at surface
4 facilities. It does not incorporate dynamic inertial
5 effects, particularly related to block motion.

6 The dynamic analysis, the full-blown dynamic
7 analysis has the problem that it is more complex and there's
8 more uncertainties and more input parameters to try and
9 define. It's not commonly used in the design of underground
10 openings in rock. That is a truism. Very few places go to a
11 full dynamic analysis, even in seismic and current
12 underground openings. The methodology is not well-developed
13 and dynamic code capabilities are ahead of material
14 properties knowledge in general.

15 But on the other hand, it's needed to evaluate some
16 of these concerns; one of them being to validate the quasi-
17 static assumptions. Steve Bauer from Sandia was going to
18 make some comments later on regarding direct applicability to
19 the Yucca Mountain site, but if my recommendations at this
20 point in time--specific to Yucca Mountain--is that it seems
21 that given the size and dimension of the event that we're
22 currently dealing with, that the design using quasi-static
23 methodology would be appropriate.

24 However, these recommendations are more long term

1 in nature, that they could be worked out on developing and
2 quantifying an empirical database. For example, we had a lot
3 of bad strains of 6.5 per cent causing collapse of openings
4 because a number that may be relevant, or may--certainly is
5 relevant to the unwelded tuffs, or what is the--how would you
6 relate that to welded tuffs of higher in situ modulus;
7 therefore, less deformation generally.

8 The quasi-static design methods also could be
9 evaluated relative to some of these documented case studies
10 that exist of seismic damage, mainly from the Nevada Test
11 Site. Also, I think it's ultimately going to be worthwhile
12 to develop a methodology for application of dynamic methods,
13 just so that we're--that there is not any criticism that full
14 dynamic analysis is not being done or that the problem of
15 interaction of drifts and ground support in the sections with
16 these sorts of waves that we might expect is fully
17 understood.

18 That's the sum total of my presentation. Any
19 questions?

20 DR. ALLEN: Thank you very much.

21 Are there questions; comments from the table? From
22 the audience?

23 (No audible response.)

24 DR. ALLEN: If not, thank you, and our final speaker

1 then will be Ken Mark.

2 MR. MARK: As the last speaker and possibly the shortest
3 speaker for the ASCE group, that's not really an indication--
4 well, that is partially an indication of the focus that our
5 group has placed. We've done a lot more emphasis on the
6 underground facilities and characterization of the loads, but
7 we could not be an ASCE committee without at least looking at
8 some structures.

9 Today I'll be talking a little bit about the
10 surface facilities, and I think the reason for this somewhat
11 de-emphasis on the surface facilities is that there's a lot
12 more published and available to describe the design of the
13 surface facilities, and again, we did concentrate more on the
14 underground facilities.

15 As an overview of the surface facilities, for the
16 waste repository it is definitely different from a nuclear
17 powerplant. The potential for dose release is much less.
18 There may not be the need to shut down the same way you need
19 to shut down a nuclear powerplant, and there's a lower
20 radioactive content than in the nuclear powerplant.

21 There is a substantial body of design criteria and
22 methodology already established for surface facilities, and
23 we're not in the process of sort of re-inventing the wheel,
24 but we would like to be able to summarize and comment on the

1 criteria that's available.

2 There is good understanding of structural behavior
3 and structural materials. There have been many types of
4 studies from fragility studies, life extension studies that
5 have been carried out for nuclear powerplants, and so there
6 is a much better understanding of the structural materials in
7 the surface facilities than there is of the materials in the
8 underground facilities; and finally, the design life is a lot
9 shorter for the surface facilities.

10 The facilities have classifications. One way of
11 classifying them is whether they're important to safety or
12 not, and again, the importance of safety is usually defined
13 in terms of a level of dose consequence at the site boundary,
14 not important to safety structures or structures with
15 conventional designs, and the use categories that DOE has,
16 you have the four different categories; the general use, the
17 low, moderate, and high hazard categories.

18 I think as far as the current design methodology,
19 the state of the art is well-defined. The consequences of
20 failure of a surface facility may not be as high in the sense
21 that a significant failure of the surface facility has to
22 take place. You have to essentially have a large degree of
23 collapse and breach of the walls of the facility before any
24 type of radiation release.

1 Another way of looking at the design of the surface
2 facility may be considering the cost benefit from use of a
3 higher seismic design. One such study looked at the overall
4 cost, not only initial cost, but the cost--the consequential
5 cost and looked at that over the life of the facility to see
6 if that could be a better way of establishing a criteria or a
7 seismic design level.

8 There is an abundance of codes and standards that
9 can be used to govern and provide guidance for the design of
10 the surface facilities. There are ASCE documents, UCRL
11 documents, the NRC documents, and concrete codes that govern
12 the design methodology and provide guidance to the design and
13 analysis of surface facilities.

14 In the area of critical loads, in the pre-operation
15 period there is no radioactive material in the facilities and
16 conventional design governs. Under the normal operation
17 phase, there is some radioactivity, but governing normal
18 operation loads are the dead and live loads and thermal
19 loads.

20 In the abnormal range, you can have some accidental
21 loads like cranes dropping and some loss of air conditioning
22 or cooling within the facility. Under the extreme
23 environmental loads, the seismic, wind, tornado, flood would
24 govern, and other extreme loads may include something like an

1 airplane crash or, in the case of Yucca Mountain, underground
2 nuclear explosions.

3 We can look at a typical hot cell in the surface
4 facilities and you'd have walls something on the order of
5 four to six feet, and a roof on the order of three to five
6 feet, and we could postulate, or at least get a general idea
7 about what are the sequences and overall failure modes.

8 Initially, for some sort of an accident condition,
9 initially we'd look at slight cracking, some spalling.
10 Eventually the spalling would be large enough so that some of
11 the reinforcing steel is exposed. Eventually, big enough
12 chunks of concrete may fall out that we'd have holes. If you
13 continue to load the, potentially the roof slab would start
14 sagging. You'd have large shear definition of the walls and
15 eventually the walls and roof structure could potentially
16 collapse, and I think you need to look at the failure modes
17 in terms of what sorts of levels of failure do we need before
18 you actually have radiation release, and as long as there is
19 no crack or hole that sort of goes through the structure,
20 then the radiation is still confined within the structure.

21 We also looked at what are the component failure
22 modes for the structures and what areas of the surface
23 facilities, the failure of what areas of the surface facility
24 that would have the potential for a significant release, and

1 we've identified some of the areas that we think are
2 important.

3 In addition, we've looked at some of the mechanical
4 components that have the potential to release significant
5 release; again, probably in combination with some sort of
6 collapse of the overall structure so that the radiation, in
7 combination with something else, would be able to release
8 radiation.

9 I think in general, again, the methodology for the
10 surface facility is well-defined and we will, in our
11 approach, look at summarizing existing criteria and
12 commenting on the criteria that is available.

13 Thank you.

14 DR. ALLEN: Thank you.

15 Comments or questions? Yeah, Leon Reiter.

16 DR. REITER: Ken, could you offer an opinion as to the
17 reasonability or the possibility of designing against surface
18 offset and whether that would require heroic measures?

19 MR. MARK: Well, I think you've had some discussion
20 before about how rigid a structure might be able to do that.
21 I think one study that we were involved with--and I think
22 has been reported previous by Asadour Hadjian and others--
23 looked at a study where we actually looked at parts of the
24 hot cell and postulated some--a fault displacement beneath it

1 and looked at the possibilities of designing, and I think it
2 is possible to make a structure strong enough to accommodate
3 a postulated fault disrapture.

4 DR. ALLEN: Yeah, Russ McFarland?

5 MR. McFARLAND: I'm curious as to the source of the
6 critical loads in normal operation of surface facility,
7 you've listed here "thermal" as being a critical load. Could
8 you explain that?

9 MR. MARK: I wasn't--I don't think we--we weren't
10 looking at it in terms like a nuclear powerplant-type load.
11 I think if a certain amount of heat builds up in the
12 structure and for--as it might effect cracking--

13 MR. McFARLAND: Oh, you mean hydration during the
14 placement of five-foot, six-foot thick concrete walls?

15 MR. MARK: No. I mean the processes that take place
16 within the hot cell may generate some heat.

17 MR. RICHTER: Phil Richter, Fluor Daniel. I'd just talk
18 to that real quickly. There are--in nuclear process
19 facilities there is some fairly--can be some fairly high
20 temperatures due to the waste handling and storage, high
21 relative to reinforced concrete and normal design practice.
22 We've run into that type of thing on a canister storage
23 building in the Hanford Waste Vitrification Project, for
24 example, just recently, so it's reasonable for us to be

1 concerned with thermal considerations.

2 MR. MCFARLAND: I'd like to come back to this issue when
3 we do the round table discussion. I think there's a basic
4 question of what the problem is we're trying to solve in some
5 of the designs that have not yet been defined.

6 DR. ALLEN: Other questions or comments?

7 (No audible response.)

8 DR. ALLEN: Okay. Let us take a momentary break until
9 we get the tables rearranged here, however it is going to be
10 done, and am I right on the--that all of the people who have
11 made presentations are going to be up there, which means
12 about half of us are going to be up here and half out there,
13 so...

14 (Whereupon, a brief recess was taken.)

15 DR. ALLEN: It is not our intent here to have us against
16 you and indeed I believe the only reason we are up here is so
17 all of us can perhaps recognize who the culprits were who
18 made various statements during the meetings that you might
19 wish to question or endorse. And indeed, I hope those of you
20 out there will not hesitate to participate just as much as
21 those people who are up here. Some people, like Jay, I have
22 a feeling will do so.

23 I made the statement that we were going to try to
24 toss out a few provocative questions and you may have some of

1 these yourselves. You may have some provocative answers.
2 But, let me start out with a question that was actually
3 stimulated and I'll direct it to first of all to Richard
4 Quittmeyer. I am not trying to put him on the spot
5 necessarily, but he was the first one to put up kind of a
6 shopping list of things we might be doing here. But, I hope
7 also others such as Ardyth and Keith and Dave Tillson and so
8 forth might comment on this. And I pose this from playing
9 the point of view of a devil's advocate as you will see.

10 At the start of the meeting, Terry Grant suggested
11 that the maximum earthquake that might occur at the site in
12 the near-field would be something like 7 or 7 1/4. Later
13 David Tillson said that the Nevada Bureau of Mines suggests
14 that maybe a magnitude 7 earthquake was the kind of thing we
15 should be talking about.

16 Let's assume that. In fact let's add half a
17 magnitude to it. Let's say 7.5 in the near-field, occurring
18 at shallow depth, occurring in the worst possible fault
19 orientation in terms of creating destructive ground motions
20 of the site and ask the engineers, can you live with this?
21 My hunch is in terms of the facilities of the site and I am
22 talking about vibratory ground shaking, not so much fault
23 displacement, my hunch is their answer would be yes, with the
24 expenditure of sufficient amounts of money and so forth. And

1 indeed, I should remind you that the NRC just recently
2 licensed or re-licensed a nuclear plant, Diablo Canyon,
3 assuming a magnitude 7.2 earthquake four kilometers away from
4 the plant. That was an NRC action.

5 Assuming the engineers say they can do this and
6 that is generally accepted, my question is this, why should
7 we spend one penny more on things such as tectonic models, if
8 we have already assumed the worst tectonic model and we can
9 live with it, why should we do any further investigation of
10 this field. Or something dear to my own heart, why should we
11 run that seismographic network for one more week? What could
12 we possibly learn in the next five years that would increase
13 the estimate over the very large earthquake that we have
14 already proposed. And, when I even suggested asking this
15 question, my colleagues of Cal Tech, accused me of being
16 anti-intellectual. But, let me toss that question out.

17 If we really think and I am not sure this is the
18 case, but if we really think that we can engineer against an
19 exceedingly large event, why should we be spending a lot of
20 money doing work on things that might be considered, and I
21 realize some of you might disagree, irrelevant?

22 Richard, since you tossed out this list of things
23 from which I picked the seismographic network and the
24 tectonic models, maybe you might respond first.

1 MR. QUITTMEYER: Richard Quittmeyer, Woodward-Clyde. I
2 guess the first thing that would come to mind is that you
3 would want to examine the sort of trade-offs and the cost
4 between carrying out the site investigations that may give
5 you a more realistic number for your seismic ground motion as
6 opposed to the additional costs that it may take to design
7 and license or a magnitude larger than may actually occur or
8 be expected.

9 I am not sure that the long-term, that there would
10 be a long-term cost benefit by just picking a earthquake half
11 a magnitude larger than anybody has said so far.

12 DR. ALLEN: Okay. But, isn't it also true that no
13 matter how many thousands of dollars we spend on studying
14 tectonic models there is never going to be an agreement among
15 the people that are arguing about it?

16 MR. QUITTMEYER: That probably is true.

17 DR. ALLEN: Well, Bob, do you want to say something?

18 DR. KENNEDY: I'd like to follow up on Clarence's
19 statement.

20 From what I know of these facilities and that is
21 maybe not all of the details, I don't see anything in either
22 the surface structure or the subsurface structure whereby
23 there would be much cost impact from raising the vibratory
24 ground motion levels up to reasonably high numbers, let's say

1 in the .5g, 18 inches per second peak particle velocity,
2 maybe ten or twenty percent higher than that. As you start
3 moving beyond those numbers, I think you probably will pay an
4 engineering penalty and you will also pay a provability of
5 the design penalty.

6 So, I guess I would like to toss it back to the
7 geologists, seismologists and geotechnical that if you select
8 one of these largest, very large events, what kind of ground
9 motion are we talking about?

10 DR. ALLEN: Well, we selected 7.2 at Diablo Canyon in
11 the very near-field.

12 DR. KENNEDY: But when we did that that got us up around
13 1g, tectonic acceleration.

14 DR. ALLEN: But the engineers were able to live with
15 this.

16 DR. KENNEDY: With substantial extra engineering. There
17 was cost penalties associated with that kind of a ground
18 motion.

19 DR. ALLEN: Keith, do you have any comments on this?

20 MR. MCCONNELL: I think our view would be to take a
21 broader look. In the narrow view you might be only concerned
22 with vibratory ground motion of that magnitude of an event at
23 the site. The questions we would raise would be, what does
24 that mean with respect to fault displacement potentially

1 underneath any surface facilities. What does that mean with
2 respect to future events along faults along the repository
3 block that could affect total system performance as well as
4 containment.

5 So, obviously, from some of our slides, we do see
6 some value to continue to look at tectonic models and their
7 alternatives.

8 DR. ALLEN: You will recall that I accepted fault
9 displacement. The reason being that I think it is a terribly
10 important question. But, it seems to me the answers for that
11 are going to come from these neo-tectonic studies in
12 identifying where the faults are or what their displacements
13 are. A tectonic model has almost nothing to do with whether
14 or not you prescribe fault displacement on given faults.
15 Likewise, a seismographic network tells you nothing about
16 that.

17 MR. MCCONNELL: Tectonic models could become important
18 in determining what could be the maximum credible event along
19 a particular fault. I think if faults are connected via some
20 mechanism that is proposed in a tectonic model, then some of
21 the faults that could exist in an area such as Midway Valley,
22 could have a significant maximum credible fault displacement
23 based on the model that you do pick.

24 DR. ALLEN: But, no one has even suggested an earthquake

1 as large as 7.5 might be credible, except me.

2 MR. MCCONNELL: Can we quote you on that?

3 DR. ALLEN: Well, I don't mean credible, I mean to be
4 considered.

5 Well, Ardyth, do you have any comments on it?
6 After all, you are spending the money.

7 DR. SIMMONS: Yes. Ardyth Simmons, DOE.

8 I think we have to remember that even though we may
9 be able to convince the scientists, the geologists and also
10 the engineers may be able to design for a facility that would
11 accommodate a magnitude such as 7.5, we also have the burden
12 of proof to the public as well, and, we have an obligation to
13 complete site characterization. That is not to say that as
14 we complete the surface faulting studies at Midway Valley and
15 we can use that information to evaluate and re-assess the
16 seismic hazard that we might not make some modifications and
17 maybe adjustments to what the hazard and what the
18 vulnerabilities would be.

19 But, we still have the obligation to be able to
20 demonstrate it to the public.

21 DR. ALLEN: Okay. I certainly agree that that is a
22 terribly important point. I would also say that if not the
23 public was convinced, at least the NRC was convinced at
24 Diablo Canyon would withstand 7.2.

1 MR. SULLIVAN: This is Tim Sullivan. I also work for
2 the DOE.

3 With regard to the alternative tectonic models, I
4 think it is important to keep in mind that those models serve
5 not only to address seismic issues, but other issues as well.
6 They will provide information on the three dimensional
7 distribution of rock units from the water table to the ground
8 surface. And while the principal driver may not be seismic
9 issues, there is information contained in those alternative
10 tectonic models that may influence performance assessment.

11 And secondly, in regard to the network, I used to
12 work with seismologists, and my recollection is that they
13 would look enthusiastically at the opportunity to monitor the
14 occurrence of a moderate magnitude earthquake within their
15 network.

16 DR. ALLEN: Oh, they would love it. My question is,
17 what does that have to do with the safety of this facility?

18 MR. SULLIVAN: Well, I think, my concern would be if we
19 shut off the network and such an event occurred, we would not
20 have gathered available pertinent information.

21 MR. ALLEN: Well, as a seismologist I agree with part of
22 what you say, but I would also point out that seismologists
23 in general are always in favor of bigger and better networks
24 and not always because they might help a particular facility

1 to be more safe or less safe. And after all, the DOE does
2 have a research program. This is not it. This is a Yucca
3 Mountain program. And I think those differences have to be
4 kept in mind.

5 Bert, you had something to say.

6 MR. SWAN: Yes. Bert Swan.

7 The regulatory guideline we are working to now is
8 expressed in terms of probability of release of radionuclides
9 to the environment. That is what we have to ultimately
10 satisfy.

11 We could say in a deterministic sense we could
12 design for and accept a magnitude of 7.5, but when we do the
13 analysis, the complete risk assessment analysis, we don't
14 want them to stake a conservative assumption because we can
15 live with it, a magnitude of 7.5, for what is likely to
16 occur. We run this analysis, the exposure is most likely not
17 going to be coming from magnitude of 7.5 events; it will be
18 coming from the more frequent moderate size events.
19 Postulating a magnitude 7.5, if we postulate it and use it in
20 analysis enough times, pretty soon that is going to become
21 reality. We can have 7.5's out there.

22 My guess is, we haven't run the analysis, but my
23 guess is if we postulate 7.5 earthquakes out there we'll
24 lower the probability of release to the environment because

1 we will soak up that moment rate in very, rare, large,
2 magnitude events, decreasing the number of smaller magnitude
3 events which are the ones that are really going to occur and
4 the ones that could cause damage.

5 Although it sounds very conservative to postulate
6 these big events because we think we can live with them, in
7 reality it may not be conservative. It may lead us to lower
8 numerical values of risk than would be if we took a more
9 realistic approach as to what will happen in the
10 probabilistic approach. And we aren't going to get away from
11 the probabilistic approach from the standpoint that is where
12 the regulatory guide is couched in probabilistic terms,
13 probability of release to the environment. So, we are going
14 to have to run these analyses. And we don't want to lose
15 sight intuitively appears to be conservative. It may not be
16 conservative at all.

17 DR. ALLEN: David, do you have something you want to
18 say?

19 MR. TILLSON: This is David Tillson.

20 Let me give you a couple of examples of why you
21 should not even think about doing no regional tectonic
22 studies or developing tectonic models.

23 The first one that comes to mind which I was
24 directly involved in and many of the people in this room were

1 involved in when they were with Woodward-Clyde, is the Satsup
2 Plant in western Washington.

3 In 1973 when we licensed that plant for
4 construction, the concept of plate tectonics was more of a
5 theory than a fact and we licensed it based on models that we
6 thought existed at that time. We added levels of
7 conservatism, the maximum earthquake was 7.1 magnitude. We
8 kicked it up to 7.5 magnitude. Ten years later we go back in
9 for licensing for operation and we are hit with the question,
10 what is going to be the magnitude of the earthquake for the
11 subduction zone that is directly under your site.

12 Now, the other case was over at Hanford where there
13 were four reactors that had been licensed to at that time an
14 intensity 8, which was .25g. Along came somebody that
15 discovered that a large earthquake prior to the time of
16 recording may have occurred over in the Columbia Plateau and
17 we were faced with a concept of having to spend billions of
18 dollars to go back and retrofit that design.

19 So, I think it behooves you to know as much about
20 the tectonic model as possible before there is major
21 expenditures on the design of that facility.

22 DR. ALLEN: Well, I think these are very good points.
23 Please remember I was asking that as a devil's advocate.

24 MR. WESNOUSKY: I just want to ask Bert a question on

1 that last point. I am Steve Wesnousky, University of Nevada,
2 Reno.

3 You were just mentioning a possibility of magnitude
4 7.5 and that assumes that there is a fault there that can
5 produce it. There is a fundamental tenant basically or a
6 concept called the concept of elastic rebound. And that
7 basically says that these earthquakes are the result of the
8 release of slowing accumulating tectonic strain on a fault.
9 And if we know the last time that fault released a strain, we
10 can say something about the next time it will occur.

11 But, without that information, how can you do
12 anything about really estimating the probability of a
13 magnitude of 7.5 after assuming that it will occur, without
14 that piece of information?

15 In other words, if we don't know the last time that
16 one of these larger earthquakes occurred, how can you start
17 to clothe your estimate of occurrence in a probability?

18 MR. SWAN: That was the point I tried to emphasize
19 actually during my ASCE presentation.

20 Quite frankly, I think to do a rigorous
21 probabilistic analysis, it requires more data than to do the
22 old traditional deterministic analysis. You do want to try
23 to get time and slip rate, the last time since the most
24 recent event, and what has been the distribution.

1 Typically, what we do is assume uniform
2 distribution through time because we don't have data to the
3 contrary and it is mathematically appealing to do so. We
4 really want to base our assessment on what the likelihood of
5 future events is based on and what is the history of past
6 events. How have they been distributed in the past? And, we
7 can't gather those data for every single fault out there, but
8 there are unique opportunities where we can gather it for
9 select faults and those should be well documented.

10 Historically, working with the NRC one or two well
11 documented cases where you build a high degree of confidence
12 in what your data base is, goes a lot farther than expert
13 judgment and supposition and tectonic models. And, to build
14 the kind of confidence we need to license a repository, I
15 think it behooves us to gather what data are within our
16 current abilities, technologies, methodologies. The position
17 of the ASCE working group is these methodologies,
18 technologies are state of the practice and we just have to
19 apply state of the practice and we can solve many of these
20 problems quite easily.

21 MR. WESNOUSKY: I have some other thoughts just on some
22 things that happened today and I know that David is leaving
23 here shortly, so I would like to make--

24 DR. ALLEN: Yes. David is on his way out. Yes, please

1 go ahead.

2 MR. WESNOUSKY: Some comments more in terms of our
3 perception of how the earth works. My career in earthquakes
4 isn't as long as most people's career here, but my emphasis
5 has been on how faults behave and how we can use that
6 understanding for seismic hazard analysis.

7 With respect to David's observation that
8 earthquakes occur on faults, I would like to say I agree
9 wholeheartedly in general.

10 DR. ALLEN: However--

11 MR. WESNOUSKY: But, I would just like to iterate a
12 little history here in terms of how scientists like to
13 embrace and even more consulting firms like to embrace an
14 idea of how the earth works and apply it. There is this
15 general once it comes out, this is how it works and we've got
16 a number.

17 But, you can go back to the 1880's and everyone
18 knows the famous geologist G. K. Gilbert, and he made the
19 observation along the Wasatch that earthquakes occur on
20 faults. And David showed that particular fault that he did
21 in his study. In 1906 the Great San Francisco earthquake
22 occurred and Harry Fielding Reed looked at some geodetic data
23 and came up with a model of the concept of elastic rebound.

24 Okay, so then we have this information, earthquakes

1 occur on faults and we have a simple model that says
2 Earthquakes, we can infer occur periodically as a function of
3 how often or how fast the strain accumulates.

4 In the 1920's Bailey Willis says, really all we
5 need to do, to do seismic hazard is identify where all the
6 active faults are.

7 A little bit later a guy by the name of Clarence
8 Allen comes along reiterates that in the 1970's with a little
9 more embellishment and observation. This is getting very
10 accepted and used. And then David Schwartz and Kevin
11 Coppersmith and Bert Swan start looking in trenches and there
12 is this idea that earthquakes occur periodically at about the
13 same size. Then there is this other guy named Wesnousky,
14 that's me, I take these ideas and say we can synthesize this.
15 And I am so bold as to take all the data and create seismic
16 hazard maps for all of California. At about that time I
17 think everybody is getting very confident about how the earth
18 works and this is really a simple business.

19 But, simultaneously with that we get a couple of
20 earthquakes. One, the Coalinga earthquake which I think is
21 quite famous now, which wasn't associated with a fault that
22 we could see at the surface, and the Loma Preita even more
23 recently, the same thing. Then the Superstition Hills
24 Earthquake as well produces a left lateral fault on a strike

1 in an area that we never really considered as producing
2 active faults. So three earthquakes occurred.

3 Now, I know what my geological colleagues are
4 saying, we can recognize those now because we had seen them.

5 But the point I want to make is that we are looking at
6 California, a region with rates of strain accumulation on the
7 order of many centimeters per year. We've been around for
8 about 80 years studying earthquakes and we think we know how
9 things are going and boom, there are exceptions.

10 Now we are going over to the Basin & Range where
11 the recording history is probably even less, or maybe on the
12 same order but the rates of strain accumulation are even
13 less. So to think that with all our models and observations
14 that we can really predict the style of earthquakes that
15 might occur in the Basin & Range with the assumption that all
16 of them occurred, is wrought with some uncertainty. And, I
17 just want to convey that information to the panels and boards
18 that be. I think that should be considered.

19 Another point related to that is that if we look at
20 California we have these simple ideas of repeated
21 earthquakes, but I would like to be a little bit cautious
22 when I see these probability trees and the idea that we can
23 produce a probability and give it to you and say that this is
24 the number and it synthesizes all our uncertainties. But,

1 what I would like to make sure that there is some effort to
2 look at the probabilities that the probabilities are correct
3 in a sense.

4 If we look at California, USGS, let's put together
5 a number of scientists who have been willing enough to
6 actually put probabilities on the forecast of earthquakes
7 along the San Andres and San Jacinto Fault systems. Perhaps
8 along these fault systems there is more data available for
9 paleo earthquake studies just due to the geologic and
10 physiographic environment than we will ever have in the Basin
11 & Range, and they have put out these probabilities. But now
12 there are members of the scientific community that start to
13 look at these, and if you look at the uncertainties and the
14 probabilities, you have to have some question that
15 probabilities are of significance. That is a recent paper
16 published by Jim Savage, I believe. So, I would like that
17 sort of thought to come into being.

18 Moreover, I think the more data you collect on
19 these faults, the more we realize they are complicated. And
20 that comes out most recently on the San Andres Fault with the
21 work of Kerry Sieh, where a decade ago as a result of his
22 paleo earthquake studies, these earthquakes were occurring
23 periodically. But with the advances in dating methodologies
24 and more looks at the sections, these faults don't produce

1 earthquakes necessarily periodically.

2 So, even though our models are simple, the more
3 data you get it seems to appear that the earth is more
4 complex than we would like to think. Although we embrace
5 these ideas anytime that we can try and simplify in our mind
6 how the earth works, we can't really be certain it is as
7 simple as our models.

8 Another point that has been ignored today is that
9 there is evidence of recent vulcanism out in the Basin &
10 Range. That has been ignored. And we know less about the
11 relationship of faulting to volcanic processes than what we
12 do to say the San Andres and the slope tectonic accumulation
13 of strain.

14 This is just an observation I want to bring up. I
15 was recently in Japan and thinking about this idea of new
16 tectonic faults. And the one well-documented case of a new
17 tectonic fault occurring in bedrock without any evidence of
18 preexisting motion is in Japan. It is a result of the 1966
19 Matsushiro earthquake swarm. Now these earthquakes weren't
20 really large. The largest of them was magnitude 5, but there
21 is some aspect here that new faults can occur and they have
22 been documented. It isn't a volcanic region, but I would
23 like to emphasize that it wasn't as a result of an actual,
24 there was no volcanic activity at the time, nor has there

1 been historically. Nothing more than the fact that there are
2 volcanic cones much like out in the greater flat.

3 So those are the sorts of things that have come up
4 in my mind today and thank you for listening.

5 DR. ALLEN: Thanks, Steve.

6 Dave, do you have any particular comments you want
7 to make?

8 MR. SCHWARTZ: Well, I guess I am going to miss the
9 first shuttle, so we'll try and push it down to the second.
10 No, I think I could probably sit here for two hours and point
11 by point discuss things with Steve. I think he has raised
12 some very valid issues and there really is variability in the
13 way the earth behaves. We have got to take that into
14 account.

15 DR. ALLEN: I guess Dave and I and maybe someone else
16 here are on these Probability Committees for the Bay Area and
17 Southern California. One of the interesting experiences we
18 had, we were discussing the San Jacinto Fault one afternoon,
19 a meeting in Menlo Park of several segments of San Jacinto
20 Fault. When we got down to the south end of the Superstition
21 Hills Fault, we argued and argued about what the slip rate
22 was, what magnitude it might be, and finally after some
23 heated and rather very differences of opinion we voted. The
24 last thing we did was to vote that we just didn't have enough

1 information to assign any probability to it.

2 So, I got on the airplane and while I was on the
3 airplane to come back to L.A. the Superstitions Hills Fault
4 broke, which--

5 MR. SCHWARTZ: True story.

6 DR. ALLEN: Which one thing points out that ignorance is
7 by no means a sign for comfort. You shouldn't equate
8 ignorance with safety in the case of studying faults and so
9 forth.

10 Robin McGuire had something he wanted to say.

11 Thank you, Steve.

12 MR. MCGUIRE: Robin McGuire with Risk Engineering.

13 Let me get back to your devil's advocate question,
14 Clarence.

15 I would respond by saying the reason we don't want
16 to assume some arbitrarily large magnitude at a close
17 distance at Yucca Mountain for seismic issues is the same
18 reason that we don't want to do it and don't do it for
19 nuclear plants in the Eastern U.S., for example. The reason
20 is that you can't achieve optimum levels, meaning lowest
21 levels of overall risk to the public from a facility by
22 concentrating on one aspect of the design and assuming a very
23 conservative level for that aspect. Because, as a result
24 you'll probably incur a much larger risk in other aspects as

1 a result of that decision.

2 A simple example comes to mind that was published
3 by Harold Lewis. If you are designing a house in Pasadena
4 you might be worried about snow loads, so you might say to be
5 very conservative and design the house for snow load on the
6 roof that is two feet of thick, heavy, wet snow. So you
7 build a concrete roof for your house and you are very safe
8 with respect to snow loads. The problem is, your earthquake
9 risk has gone to hell.

10 That is an example of concentrating on piece of the
11 problem and making decisions there in earthquake design would
12 have negative influences and probably produce much larger
13 risks overall to the public, than if you try to do the best
14 job, get the best models and say we are not that dumb, we
15 know something about the tectonics, let's make the best
16 decision we can on the tectonics.

17 DR. ALLEN: Well, I certainly agree. That is one reason
18 I pointed out in my introduction yesterday the need for a
19 systems approach to this whole affair. Seismicity cannot be
20 considered independent of many other concerns,
21 transportation, engineered barriers, thermal loading, all
22 these other things. As a matter of fact, the Board has felt
23 that the DOE has not been addressing in that area as they
24 should have been.

1 Bob Kennedy.

2 DR. KENNEDY: Bob Kennedy.

3 I have been involved for over 20 years on
4 commercial nuclear power plants. I certainly support that
5 you need to collect the seismological and geotechnical
6 information and that this is extremely important in the
7 design process.

8 I am also sure that in the past sometimes this
9 information has been used to drive down the design
10 earthquakes for which facilities were designed and that that
11 was a serious mistake that plants have come to regret much
12 more slowly as more and more information becomes available
13 and people start questioning the size of their design
14 earthquakes.

15 I do think you do need to collect this information,
16 but I also think you need to collect information as to what
17 is it really going to cost you if you raise the design
18 criteria. There is some place where it is going to start
19 really costing you. But, if you are below that place, don't
20 sharpen your pencil to even one significant figure, I guess.
21 Collect the information but don't use it to drive down the
22 seismic design criteria.

23 DR. ALLEN: Let me ask another question. A number of
24 people at the meeting today and yesterday have implied that

1 if and when we get underground and let's say in a 100 foot
2 length of a tunnel with good stratigraphy exposed in the
3 walls, we can document that there is no visible fault
4 displacement within that 100 foot segment, that they would be
5 willing to say that it is sufficiently conservative now and
6 protective of public safety and the environment, know the
7 rocks are 13 million years old, to assume that there will be
8 no further displacement during the next 10,000 years. Many
9 people sort of implied, that yes, that would be a reasonable
10 conclusion.

11 Let me ask, are there some people who disagree with
12 that?

13 Kevin, in your presentation you were sort of, and
14 you may want to explain this, you were sort of assuming that
15 there could be distributive breaks, but maybe that was
16 without the knowledge that it hadn't been broken if you could
17 see that in the tunnel.

18 MR. COPPERSMITH: I think it has to do with your
19 pretext.

20 DR. ALLEN: Yes.

21 MR. COPPERSMITH: Basically, to me you deal with how you
22 are going to model the problem of fault displacement. We can
23 go from a model that says that we basically don't know very
24 much about where faulting will occur, which would be a very

1 dumb model to one that says well we know where the primary
2 faults, the big guys are, but we are not so sure about other
3 faults and their deformation to one that yes, we are able to
4 identify faults and this is where your basic pretext is that
5 you have that information in a very site specific way within
6 the excavation, let's say. If you have that, then I think
7 you are able to exercise the smarter models that actually say
8 that's okay, we have intact rock here, we have faults here
9 and can spatially locate those. Given that pretext, then you
10 basically can use those types of models.

11 The issue that I was addressing was where are we
12 now in that state of knowledge? I think we are back a step
13 in our detailed knowledge even in terms of the mapping of the
14 mountain itself and the nature of the stratigraphy that we
15 can see with the present level of site characterization it
16 has got on it.

17 DR. ALLEN: Let me ask Dave Tillson, if that
18 circumstance would arise and we are not sure that it ever
19 will, but if we could get underground and find a 100 foot
20 long segment, good stratigraphy with no visible offset, would
21 you be willing to buy that in the next 10,000 years we could
22 safely assume there is going to be no further offset?

23 MR. TILLSON: As a geologist or as one who would be
24 responsible for trying to license it? It's two different

1 issues.

2 DR. ALLEN: Okay.

3 MR. TILLSON: Now, I admit that the chances for
4 licensing would improve substantially if you went underground
5 and found no significant faults. I don't believe that you
6 will find absolutely no faults, but I believe there is a
7 possibility that you would find no significant faults.

8 But, this goes back to your first question. If you
9 have not developed a very well structured and believable
10 tectonic model, you are going to have trouble convincing
11 people that new faulting could not occur. So, if you do have
12 such a model and you do have a good understanding of the
13 geology, I think your chances are very good.

14 DR. ALLEN: Any further comment on that question?

15 MR. TILLSON: I do have another comment.

16 You still have the problem of performance. We keep
17 talking about design during the pre-closure of the
18 operational phase, and I don't think that that is going to be
19 the difficulty. The difficulty is going to be demonstrating
20 performance of that repository once it has been closed up and
21 that you know enough about the system to reasonably assure
22 the regulators that you are going to meet whatever comes out
23 of 40 CFR 191 or revised 40, or 10 CFR 60. It is a difficult
24 problem.

1 DR. ALLEN: Yes.

2 MR. ROSEBOOM: Gene Roseboom.

3 Yes, I would like to consider the post-closure part
4 of the performance of the repository. And, it seems to me
5 what we haven't looked at here is really where the rubber
6 meets the road or where the rock meets the canister.

7 We have two kinds of hazards, apparently, the
8 seismic shaking and then also possible fault displacement.
9 With regard to the seismic shaking, you are going to shake
10 the canisters, maybe scratch them up, pull out some rocks
11 loose, scar them and maybe increase the rate of which you get
12 dissolution of the canister. On the other hand we can only
13 take credit for 300 to 1,000 years for a canister anyway
14 unless we make a special case for a longer lived canister.

15 What is the worst situation in terms of new
16 breakage and suppose we share a dozen canisters. I think we
17 really need the performance assessment people to tell us how
18 serious is that if you do share a dozen canisters. You have
19 only got about three millimeters a year of flux going through
20 the repository and that is what would be actually meeting a
21 canister and those are the basic barriers we are dealing
22 with, the very low flux and then of course the other barriers
23 once you dissolve some waste. We have the Calico Hills below
24 it; we have a number of barriers.

1 What is the real consequences of seismic shaking
2 and new fault displacement? Of course, Clarence at the
3 beginning you suggested maybe we could emplace canisters
4 simply loosely in a tunnel or maybe engineering solutions
5 like that.

6 DR. ALLEN: Not loosely. We've got to tie them down.

7 MR. ROSEBOOM: Well it sounds like if a new fault
8 breakage will go around a bank vault, maybe we need the
9 canisters in a trench in the middle of a drift or something
10 where there is flexibility for the new fractures to pass
11 around them. If the canister is stronger than the
12 immediately surrounding material for some distance, maybe
13 that will take care of the hazard.

14 DR. ALLEN: Does anyone care to respond or comment?

15 Russ McFarland.

16 MR. MCFARLAND: It has been interesting, Bob Kennedy is
17 brand new to this community, and yet he has asked some
18 questions today that I have wondered about for the three
19 years I have been in it. Now, Gene comes up with an issue.

20 I have been wondering for the two days watching, if
21 everyone was trying to solve the same problem or if everyone
22 had a different problem they were trying to solve.

23 In your introduction you raised a question of
24 systems; you raised a question of different emplacement. Bob

1 of course, raised the comment a couple of centimeters of
2 clearance on the canisters is ridiculous.

3 We have nothing but a conceptual definition of a
4 repository system. It has never gone beyond concept which is
5 nothing more than a vague, general definition. And, yet I
6 don't hear but very recently anyone in the scientific
7 community questioning that configuration. We started to do
8 it in our thermal meeting. As I said I am very sensitive to
9 the thermal issues, since that was my burden. I listened to
10 the hot cell issue in the design of a receiving facility.
11 When is someone questioning the location, the need of, or the
12 number of hot cells? Do we need a hot cell? Do we need
13 three of them? Do we need them in Midway Valley? And, my
14 perennial question, why aren't they underground if there is a
15 potential for such risk.

16 And I ask you, presently, why aren't we questioning
17 more of the basic premise? Why do we take as given gospel
18 the reference configuration which is a conceptual
19 configuration. And I follow that with a statement that has
20 been made repeatedly by DOE that we cannot advance that
21 conceptual design, and it really isn't a design, that
22 conceptual repository until we have a great amount of site
23 characterization data. And I am at a loss to know what site
24 characterization data is needed to advance a conceptual

1 design.

2 Do I have any reactions to that?

3 DR. ALLEN: Perhaps someone from the DOE would have a
4 reaction?

5 DR. SIMMONS: Well I am not an engineer, but it seems
6 logical to me that before you would advance the conceptual
7 design, you would want to try to pin down a bit more what
8 some of your various thresholds would be for fault offset and
9 things like that. We can do some modeling studies given
10 different scenarios and indeed disruptive scenarios are going
11 to be a part of total performance assessment. There are
12 scenarios that deal with faulting and ground motion as
13 hazards. But, in order to have some confidence in that
14 modeling, we have to be able to put in as much real data as
15 possible.

16 MR. MCFARLAND: But in changing a configuration, for
17 example, as Clarence mentioned, I could go to drift
18 emplacement of very robust, large, multi-purpose casks, allow
19 me to have much smaller, more stable openings. I could do
20 away with my receiving facility, perhaps, depending on what
21 the rest of the system requires of it. And if I need it, if
22 I need a hot cell, I will go underground. I can change my
23 needs such that a good percentage of the data that has been
24 sought and obtained is no longer of value. Shouldn't we be

1 looking or carrying along multiple conceptual configurations
2 in trying to understand which particular configuration of
3 features of a system best meets our need of building a
4 repository to contain waste.

5 We call it a fly-off in the Air Force. Up until
6 almost cutting metal, you may have two or three alternative
7 configurations. Usually at the conceptual phase, we are not
8 smart enough as engineers to determine what configuration is
9 the most optimum.

10 DR. SIMMONS: Well, I might add just one more point on
11 that with regards to doing system analyses. There is a study
12 going on at the present time. It is in its rather incipient
13 stages right now, being done in Washington that will assess
14 various configurations of the repository and various
15 conceptual designs in terms of both the configuration of
16 emplacement of the canisters and the robustness of them. I
17 don't know the details of exactly how many different concepts
18 are being considered at this time, but I think that we will
19 have advanced a little bit in that regard within the next
20 year.

21 DR. ALLEN: Bob Kennedy.

22 DR. KENNEDY: I want to go on record as completely
23 supporting you, of course I am an engineer, and there may be
24 an issue between engineering. But it seems to me both should

1 go forward concurrently. There should be more work than I
2 have heard about here. And, is there ways to make this
3 facility more forgiving of both shaking and differential
4 displacement.

5 I am concerned that certain aspects don't sound as
6 forgiving as I think they ought to be. Drift emplacement
7 rather than borehole, at least conceptually to me sounds like
8 it would be more forgiving. But, that needs a lot more
9 study.

10 The idea of a universal canister and not having to
11 have waste cells, sounds like it would make it much more
12 forgiving as far as I am concerned.

13 The other area that I am really concerned about and
14 I guess the Board has expressed those concerns previously,
15 you really need to get underground with drifts not holes to
16 find the faults that are down underground. That needs to
17 happen very early in this program. They don't have to be
18 that large of drifts. Now if you had a design that could
19 work in smaller drifts they might be useful in the design.
20 Later on you could broaden it if you had a design that you
21 need bigger. But, you need to get underground.

22 DR. ALLEN: Don Deere is on an airplane somewhere, but I
23 suspect he is hearing you and applauding.

24 MR. LUGO: Mike Lugo, SAIC.

1 I just wanted to respond to Russ's question and add
2 something to what Ardyth said. The studies that you are
3 talking about, these individual trade studies are planned and
4 they will be done during the advance conceptual design which
5 is sometime further down the road.

6 As you know, the focus of the program right now is
7 on site suitability issues and the testing program. We heard
8 all about that a couple of weeks ago in Arlington. So, it is
9 not, I don't think that we are ignoring it, but it is that it
10 will be done, it is just not on the time frame that we are
11 talking about here.

12 DR. ALLEN: Robin McGuire.

13 MR. MCGUIRE: Robin McGuire with Risk Engineering.

14 Let me give a couple of words in reaction here both
15 to Russ's comments and to Bob Kennedy's question earlier
16 about why look at one centimeter or ten centimeters of
17 displacement. And that is from the perspective of the
18 performance studies that have been sponsored by EPRI.

19 The reason that we looked at those kinds of
20 displacements and made some assumptions given the conceptual
21 container design, the conceptual repository design, is that
22 we wanted to make some simple assumptions to see whether or
23 not earthquakes and in particular fault displacements
24 underground have an effect on performance. The result that

1 has come back, at least in this preliminary first cut
2 analysis using one expert's model is that they don't make a
3 damn bit of difference. The rates of occurrence of
4 earthquakes and displacements that occur just don't amount to
5 any more releases. And anymore I mean, not much more release
6 than you would get from other sources of releases. So, you
7 don't have to spend a lot of time justifying those models and
8 designing a borehole liner to take 20 centimeters instead of
9 10 centimeters or making other decisions. And that is the
10 value of those kinds of simple models, making simple
11 assumptions with respect to conceptual designs and seeing
12 whether or not that issue matters. In this case, at least
13 in this preliminary cut, it doesn't matter.

14 Now, if that holds up with a much broader set of
15 inputs, then we would say that it is not worth spending a lot
16 of time making decisions on final conceptual design based on
17 fault displacement issues, because, they just don't matter
18 much with respect to performance assessment.

19 DR. ALLEN: Yes, please.

20 MR. FERNANDEZ: Joe Fernandez from Sandia National
21 Laboratories.

22 I just want to mention kind of a similar analysis
23 that I had performed about five years ago. I think in
24 response to Gene's concern, I think we have to put it in the

1 perspective of what really is the consequence from all this.
2 The analysis that I had done five years ago where I assumed
3 waste package failure for all of the waste packages in
4 considering the amount of infiltration that you have, it
5 didn't really make any difference. You could have a
6 considerable amount of water, a highly unlikely amount of
7 water coming into the underground facility and still you
8 would be within, and my analysis was based on the 10 CFR 60
9 criteria, so with that very unlikely amount of water coming
10 into the underground facility, we were still able to achieve
11 the 10 CFR 60 criteria. I did not at that time apply my
12 analysis to the 40 CFR 191 criteria. So, I just wanted to
13 make that point in clarification.

14 I do think we have to keep this conversation
15 focused and some of the criteria and some of the things that
16 we are talking about here, ten centimeters, an interception
17 of a fault through waste canister, I don't think the waste
18 package people ever guaranteed that they would ever have
19 complete containment. In fact, I think the words that are
20 used now to the best of my recollection are substantially
21 complete in containment. So there is some waste package
22 failure assumed in the performance assessment calculations.

23 DR. ALLEN: Although, I think you would fully agree that
24 other people have emphasized here that one of our challenges

1 is to convince the public and politicians that perhaps these
2 consequences and risks aren't as great as we think they are.
3 That's a real challenge; a very great challenge.

4 Leon Reiter, when I faced you on various NRC
5 hearings, you were always able to ask very provocative
6 questions. Could you perhaps ask a question here?

7 DR. REITER: As Russ said, thanks, Clarence.

8 I want to give a provocative answer before I do
9 that, to a question raised before about the need to do
10 tectonic models.

11 Back in the late '70s when I was at the NRC, they
12 went to build a nuclear power plant on the southern coast of
13 Rhode Island. And, usually the kind of loading that was
14 assumed there, pending on what you assumed the sources were
15 or the kind of problems were like .15 or .12 or .18g, the
16 utility decided to bring in a duplicate of the Seabrook
17 Plant, which was at that point was .25g, the largest design
18 used in the Eastern United States. Under the advice of their
19 advisor, their consulting firm, which will go unnamed at this
20 point, they wanted to come and argue that the site, even if
21 it were built at .25g, the site would only require a .15g.
22 And we in the NRC essentially told them to go stuff it
23 because we were only concerned essentially with what .25g and
24 whether that would envelope the family of models that we were

1 considering and we considered a waste of our time trying to
2 determine if that was really a .15g site.

3 So, I think the real questions are, I think the
4 question that Bert raised, which I am not quite sure I
5 understand, is whether or not from a probabilistic point if
6 small displacements or small motions could be more important
7 than the large motions. And, in fact, I really want to
8 support what Gene said. The thing that I felt was missing at
9 this meeting was some better feeling of modes of failure and
10 consequences.

11 For instance, and this was raised by an initial
12 presentation that we saw by Terry, was that we have multiple
13 events. A lot of the experience that we heard here was based
14 upon examination of tunnels or structures after one event. I
15 still don't know and I would like perhaps Jay or Bob or those
16 people to tell us, can we take that information and can we
17 extrapolate that and draw conclusions about what would happen
18 to this essentially sealed repository under the occurrence of
19 multiple events. I sort of put that in all of the modes of
20 failure kinds of issues.

21 DR. ALLEN: Jay Merritt, do you want to comment on that?

22 DR. MERRITT: The question of multiple events, of
23 course, has been a major concern of the Department of Defense
24 for a number of years and that was one of the reasons--

1 DR. ALLEN: Excuse me, is that microphone on?

2 DR. MERRITT: I think it is.

3 DR. ALLEN: Okay. Go ahead.

4 DR. MERRITT: There has been a concern for a number of
5 years and that is the reason that in the presentation
6 yesterday I mentioned that there were structures that were
7 subjected to at least two loadings.

8 A number of people argue with me the fact that we
9 have successfully designed and had survived structures that
10 had seen up to 2400g's. Whether that is appropriate when
11 you start talking about designing an underground facility for
12 let's say 1/2g. I maintain it is relevant because at 2400g's
13 you certainly will have exposed a number of modes of failure
14 that you may not have seen had you subjected it to even just
15 2000g's.

16 As a matter of fact, the standard procedure for
17 designing structure experiments at the test site has always
18 been to array a design at different levels than you designed
19 it for. And example, Dr. Deere mentioned the Hardhat Event.
20 There were three structure drifts in the Hardhat Event. I
21 can't go into the details of it because they are still
22 classified, but the mid-range of the structures was the
23 actual level to which those structures were designed. I
24 should modify that. There were 43 structures involved in the

1 Hardhat Event. Three types of structures which involved six
2 structures were designed for conditions that occurred between
3 the mid-level and the more remote level of stress. But, the
4 remaining 37 structures, they were designed to withstand the
5 intermediate range and then they were arrayed at a range
6 ahead of that and behind that to counter at least three
7 things.

8 This was the first planned experiment involving
9 "super-hard construction". So, we had to design that on the
10 basis of data acquired in 1948 where high explosives were
11 used to load on-line tunnels, totally on-line tunnels. The
12 high explosives ranged in size from 320 pounds to 320,000
13 pounds. And we were looking at significantly higher
14 equivalent energies than the 320,000 pounds. Further, as I
15 already indicated, we were looking at "super-hard structures"
16 of digression just to emphasize the fact that we were
17 stepping into a new arena of behavior.

18 Second of all, devices even for a dedicated
19 experiment were frequently experimental devices back in those
20 days. So, you had to take into account the possibility that
21 although you planned for "X" number of tons of equivalent
22 explosive, you might get .8 of "X". Don't take that as
23 gospel, I was just giving that as an example; you might get
24 1.2 "X".

1 Thirdly, there was the uncertainties in just how
2 confident we were in both the design as well as the
3 construction and so forth aspects of the thing.

4 So that's a long digression to tell you that we
5 intentionally look for behavior as expected significantly
6 higher than behavior to truly expose the modes of failure and
7 less than that in order to give us some information in a
8 statistical sense on behavior.

9 I belabored yesterday the invariant strain. And an
10 invariant strain is well documented in reinforced concrete.
11 As I pointed out ACI Code 318, latest version 89, implicitly
12 uses .0015 as limiting strain for axial conditions of stress
13 on the structure that uses double that point .003 for
14 flexural behavior where you have got gradients.

15 That has been demonstrated, although there's
16 excursions in that. In fact, the data actually show mean
17 values of .004 as compared to .003 in the Code. There has
18 been a lot of debate in the ACI 318 on whether it should be
19 .003 or .004. But, I keep harking back to those data for
20 reinforced concrete as a limiting value of strain. Tuff,
21 whether it be welded or non-welded seems to fail at a strain
22 in axial compression more like a half percent strain.
23 Granted, that is up to perhaps 3/4 of a percent strain at
24 failure.

1 So, if one things in terms of rocks being an analog
2 of concrete, there may be limiting values of strain in which
3 case you can use those data in order to validate a design if
4 you will, whether it is subjected to a 1/2g or to 5000g's.

5 DR. ALLEN: Thanks. I am inclined to close this
6 essentially on schedule because of the fact that many of you
7 have airplanes to catch. Let me just ask if any of you have
8 any final, very short statement you would like to make.

9 Some of you have been very patient, like you Burt
10 Slemmons, one of the world's authorities on faulting and
11 earthquakes. Do you have any comments you want to make in
12 conclusion? We haven't heard from you.

13 MR. SLEMMONS: Burt Slemmons.

14 I just have two quick comments. I think I agree in
15 general with what Bert said earlier and in particular Dave
16 Schwartz with regard to the unlikelihood of having new faults
17 rupture. Nevertheless, there are several factors at the
18 siting area that may give a higher possibility or a higher
19 potential for new faults than you normally have.

20 First there has been a major change in stress
21 orientation of about 20 degrees during the last three million
22 years. This has occurred since the east-west extension
23 during the main period of development of the structures at
24 Yucca Mountain at the 8 to 15 million years ago. This

1 involves a major change with shear stress coming off the San
2 Andreas system. This has been shown by both geodetic as well
3 as geologic information. I think Kevin Coppersmith last year
4 showed strike-slip faults generally have a higher dip, 70
5 degrees to 90 degrees, whereas the Basin & Range faults that
6 originally developed the site typically have about 40 to 70
7 degrees. So, there should be with the slow release of
8 strain, the slow rate of activity on the faults, a greater
9 likelihood, I think, of new faults rupturing. Particularly
10 on the eastern site.

11 If you have faults that are dipping mainly toward
12 the west any new ruptures with a more vertical orientation
13 should occur on the eastern side of the siting area. So, I
14 would have some concern about that area. Nevertheless, from
15 my studies for example in Fairview Peak area, there are
16 perhaps only two small new faults that were generated during
17 that earthquake.

18 Second feature is that half of the historic
19 examples in the Intermountain Basin & Range Region, roughly
20 five or six involved more than one fault rupturing tangential
21 to each other anywhere up to as many as four or five. So I
22 think that the likelihood of more than one fault at the site
23 rupturing simultaneously, and having to deal with
24 accumulative slip rates, is a much more reasonable feature

1 than I would have thought otherwise.

2 The distance between the faults in that zone, some
3 seven kilometers is within the range of the width of the
4 distributed fracture patterns in the major Intermountain
5 Basin & Range fault zones. So, certain amount of detachment
6 and branching is likely, I think, in that zone.

7 The mechanism that Dick Hardyman had up in the area
8 near Gilles Range and near Walker Lane next to Cedar Mountain
9 zone involved a major but localized detachment system from
10 strike-slip faults. This may show up in the distributive
11 rupture pattern that Terry Grant showed yesterday or the
12 Cedar Mountain zone. I think it could explain some of the
13 width of fracturing that is likely to occur, perhaps up to
14 several kilometers or five kilometers in width.

15 So, I think that the fracturing during the low
16 activity rates of future earthquakes in the siting area are
17 likely to be more complex than simple. We may have as
18 Clarence has said in the past, surprises in the future.

19 DR. ALLEN: Thank you.

20 You have given several examples, of course, of how
21 alternative tectonic models can drastically or significantly
22 affect your evaluation of a hazard.

23 MR. GRANT: I have a response to his comment. This is
24 Terry Grant with SAIC.

1 Burt, in the first part of your comment there about
2 possible higher probability of seeing new fracturing, given
3 even in your case there where you may have a new regime in
4 the last few million years, presumably events are occurring
5 at intervals frequent enough given that time period, if we
6 are going to worry about them that the site would have seen
7 the lot of those events already. Wouldn't it seem that
8 whatever was going to occur would have occurred already?

9 MR. SLEMMONS: Only partly so. The change in stress
10 orientation occurred about two to three million years ago and
11 you have had a rather short period of time and it is a period
12 of time during which you have a drop off in that curve that
13 we saw of rates of activity. So, even though there are
14 multiple events, I think you are in a relatively new cycle.

15 I think if you have looked at the Tsalenko clay-
16 cake model sequence that he had in his publication of 1970,
17 you see in a clay-cake model the strike-slip faulting and you
18 have for close normal slip faulting a long period of
19 evolution of fracture patterns and through a long part of the
20 total period, you have new faults being generated. This is
21 an experimental type of work. It is only in the later stages
22 where you tend to get integrated systems that are well
23 braided and very clearly defined.

24 The low sun angle photos that I think some of us

1 have seen in previous presentations from John Whitney for
2 example, shows the activity on many of the braided faults in
3 Yucca Mountain involve discontinuities, the tapering off of
4 activity on one trace and then picking up in another area.
5 So, you still have at least nearer the surface a very complex
6 pattern. So, I don't think the process is fully integrated.

7 I don't want to overstate the case. I agree with
8 the idea that roughly 99 percent of the ruptures are
9 recurrent and repeats of what has happened in the past and we
10 are talking about a relatively small percentage.

11 DR. ALLEN: I would sort of like to wrap this thing up
12 if we may. And Simon Hsiung had a comment that he apparently
13 wanted to make in response to Leon's question.

14 MR. PHILIP: Jacob Philip from the Nuclear Regulatory
15 Commission.

16 I would like to respond, Leon, to your comments
17 about repeated earthquakes. We have this field program being
18 conducted for us by the Center at the Lucky Friday Mine. And
19 Simon did talk about the repeated mine site events and the
20 affects on the opening and on the ground-water and he would
21 like to restate those things again.

22 MR. HSIUNG: Simon Hsiung, Center for Nuclear Waste
23 Regulatory Analysis.

24 I hope that yesterday my talk demonstrated a series

1 of repeated seismic events where it actually caused more
2 damage than it was supposed to have. The DOE's concept right
3 now is talking about a maximum credible event as a design
4 basis, and as a rock mechanics person or mining engineer, we
5 all know that rock mass does show the fatigue behavior which
6 means that if you subject a rock mass or rock specimen to a
7 repeated cyclic loading, you will see marked decrease of rock
8 strength. So, this is the reason that we have this Lucky
9 Friday Mine to see how that the repeated seismic loading will
10 actually have more impact than the right now current concept
11 of credible maximum earthquakes.

12 Another point I would like to make is the seismic
13 event on the impact on the ground-water, I think in the Lucky
14 Friday Mine, that I am showing that at least seismic events
15 will temporarily increase the water pressure that could raise
16 the ground-water table. I don't see anybody here ever
17 talking about that yet. I would like to know if you would
18 have any plan for DOE to do that kind of analysis and what
19 kind of implication that would have. And, how would that
20 affect the performance assessment?

21 DR. ALLEN: Okay. I think with that I would like to
22 call it closed. I say that not only for some of you that
23 have airplanes to catch, but for some of us who have to drive
24 in Orange County, we may have already lost the battle.

1 Let me thank all of you from the various groups and
2 there are so many groups I won't attempt to name who
3 participated here. I have certainly found it valuable; I
4 think others have. We appreciate your attendance and will
5 look forward to seeing you at the next TRB meeting.

6 Thank you, very much.

7 (Whereupon, the meeting was concluded at 3:35 p.m.,
8 January 23, 1992.)

9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

1

2

3

4

5