

UNITED STATES NUCLEAR WASTE TECHNICAL REVIEW BOARD

SUMMER BOARD MEETING

Denver, Colorado

July 13, 1994

BOARD MEMBERS PRESENT

Dr. John Cantlon, Chairman, NWTRB

Dr. Donald Langmuir

Dr. Clarence Allen

Dr. Garry D. Brewer

Dr. Edward J. Cording

Dr. John J. McKetta

CONSULTANTS

Dr. Dennis L. Price, Session Chair

Dr. Patrick A. Domenico

Dr. Ellis D. Verink

NWTRB SENIOR PROFESSIONAL STAFF

Dr. Sherwood Chu

Dr. Leon Reiter

Dr. Victor Palciauskas

Dr. Daniel Fehring

Dr. Carl Di Bella

Dr. Daniel Metlay

Russell McFarland

NWTRB STAFF

Dr. William Barnard, Executive Director, NWTRB

Karyn Severson, Congressional Liaison

Frank Randall, Assistant, External Affairs

Helen Einersen, Executive Assistant

Linda Hiatt, Management Assistant

I N D E X

	<u>PAGE NO.</u>
<b>Introduction of the Nuclear Waste Negotiator</b>	
John Cantlon, Chair . . . . .	4
Nuclear Waste Technical Review Board	
<b>Nuclear Waste Negotiator's Update</b>	
Richard Stallings . . . . .	5
Nuclear Waste Negotiator	
<b>Introduction to Transportation of Spent Nuclear Fuel</b>	
Dennis Price . . . . .	22
Nuclear Waste Technical Review Board	
<b>Regulatory perspectives (overview) on transportation of spent nuclear fuel</b>	
Richard Hannon . . . . .	24
U.S. Department of Transportation	
<b>Overview of the civilian radioactive waste management system transportation program</b>	
James Carlson . . . . .	65
Department of Energy	
<b>Transportation system planning: program plan</b>	
Steven Gomberg . . . . .	77
Department of Energy	
<b>Transportation system planning: operational concepts</b>	
Ronald Kelly . . . . .	92
E.R. Johnson Associates, Inc. (M&O)	
<b>Transportation institutional program overview</b>	
Susan Smith . . . . .	111
Department of Energy	
<b>Cask system development program: introduction</b>	
William Lake . . . . .	129
Department of Energy	
<b>Summary of high-efficiency truck cask systems</b>	
Donald Nolan . . . . .	131
E.R. Johnson Associates, Inc. (M&O)	
<b>Legal-weight truck tractor/trailer testing</b>	
Thomas C. Smith . . . . .	147
TRW Environmental Safety Systems, Inc. (M&O)	

<b>Multipurpose container concept transportation cask requirements</b>	
Jim Clark . . . . .	163
E.R. Johnson Associates, Inc. (M&O)	
<b>Use of burnup credit for storage and transportation</b>	
William Lake . . . . .	175
Department of Energy	
<b>Commercial Vehicle Safety Alliance (CVSA) enhanced inspection program</b>	
James Daust . . . . .	191
Commercial Vehicle Safety Alliance	
<b>Human factors engineering implementation plans</b>	
Gregory Smith . . . . .	198
TRW Environmental Safety Systems, Inc. (M&O)	
<b>Rail transport of spent nuclear fuel</b>	
Peter Conlon . . . . .	204
Association of American Railroads	
<b>Comments from the public</b> . . . . .	220
<b>Summary and closing remarks</b>	
John Cantlon . . . . .	240

1                   P R O C E E D I N G S

2           DR. CANTLON: Good morning. If you'll take your seats,  
3 we'll get this second day of our meeting of the Nuclear Waste  
4 Technical Review Board underway. For those who are attending  
5 for the first time, my name is John Cantlon, and I chair the  
6 Nuclear Waste Technical Review Board.

7                   Yesterday our principal theme was the  
8 transportation or movement of radionuclides in a geological  
9 setting. Today, our major theme is also about transport, but  
10 this time we're going to be talking about the transport of  
11 containers of spent fuel.

12                   But before we do that, we will first get an update  
13 from the Office of the Nuclear Waste Negotiator. That office  
14 was established by Congress to seek a volunteer host for a  
15 repository, or a monitored retrievable storage facility for  
16 commercial spent fuel. If our group of scientists, engineers  
17 and research managers think our task is a daunting one,  
18 contemplate, if you will, the challenge of finding a bona  
19 fide volunteer for the siting of any high-level nuclear waste  
20 facility.

21                   Over the last few years, the Board has been briefed  
22 from time to time on the status of the negotiating process.  
23 Today marks the first time, though, that we've had the  
24 pleasure of welcoming the new negotiator, former Congressman

1 Richard Stallings. Mr. Stallings was nominated by President  
2 Clinton and confirmed as the Nuclear Waste Negotiator by the  
3 United States Senate on November the 10th, 1993. He served  
4 in Congress for eight years, representing Idaho's Second  
5 Congressional District, which includes the Idaho National  
6 Engineering Laboratory near Idaho Falls. He will provide us  
7 with an update on where the volunteer process stands today.

8 Mr. Stallings, it's a pleasure to invite you here.

9 MR. STALLINGS: Thank you very much, it's a real honor  
10 for me to be here and to take some of your time.

11 As was stated in the introduction, it is a daunting  
12 task indeed to find a volunteer host for nuclear waste. What  
13 I thought I'd do is take just a moment and give you a little  
14 of my own background. In some sense, I have some unique  
15 qualities for this job.

16 I served eight years in the Congress, having  
17 defeated a seven-term Republican who had four indictments  
18 against him. In a very, very conservative district, election  
19 night, after all the baggage that he was carrying, I  
20 prevailed by 66 votes out of over 200,000 cast. He called  
21 for a recount, and my margin was up significantly to 130  
22 votes. And so with that I felt I had a real mandate to  
23 serve. But as I think about it, it worked out well, because  
24 both of us got to serve--I went to Congress and he to jail.  
25 And so the nation, I think, benefitted.

1           The point I make is that the part of Idaho that I  
2 represented was heavily involved in nuclear issues. And a  
3 significant part of that, of course, dealt with waste  
4 products. The INEL has a long history of really being a  
5 pioneer in the nuclear industry, leading the way in numbers  
6 of technologies. And although I'm not a scientist, I spent a  
7 great deal of time involved with the lab and got a pretty  
8 fair understanding of what we're about.

9           And I've got to say that I've been a little amused  
10 since accepting this position by the perceptions. As a  
11 member of Congress, I was lobbied hard and often by groups  
12 wanting rather sophisticated projects, in many instances  
13 nuclear projects, such as the new production reactor and the  
14 Special Isotope Separator, and there was little consideration  
15 of the by-products, the waste stream from those facilities.  
16 I had a number of governors contact me and say, "You're  
17 positioned on the Science Committee, would you please let the  
18 Committee know that our state is very interested in this  
19 project?" And no one ever mentioned the waste stream that  
20 would come from those machines. And my own state of Idaho  
21 was a leader in seeking after those kinds of projects.

22           And now the times have changed and we're dealing  
23 with those waste products, and all of a sudden the perception  
24 is out there, "Not in my backyard. We're not interested in  
25 that kind of facility or that kind of siting." In fact, I've

1 had a couple of political leaders tell me that they didn't  
2 want the national laboratories in their states to be nuclear  
3 waste facilities. And I've been amused, because that's what  
4 they are. In fact, most of them are in that category. And  
5 for political leaders to ignore that fact I find to be  
6 somewhat amusing.

7           When the president asked me to take on this  
8 responsibility, I was honored and also, again, somewhat  
9 perplexed because of the number of factors involved. First  
10 of all, the tremendous misconceptions and misperceptions in  
11 our society about nuclear things. Most of Americans get  
12 their views on this product from experiences in war or  
13 experiences in places like Chernobyl or Three-Mile Island,  
14 and unfortunately, those perceptions have not been very  
15 positive. In fact, I am critical of the nuclear industry for  
16 not doing a better job of making the case of the beneficial  
17 uses and the beneficial applications. And so we are dealing  
18 with all kinds of misconceptions out there.

19           My second problem is time. As you're aware, under  
20 the law, this office expires in January of '95, which means  
21 when I accepted the position in November--or it was finally  
22 confirmed in November of '93, I had just over a year to try  
23 to get the job done. Well, I spent five months as a  
24 consultant to the Secretary looking at the past program and  
25 trying to identify ways to change the nature of this

1 voluntary siting process to make it work.

2           I reviewed my predecessor's efforts, and I hope  
3 that I am not interpreted as being critical of him, because I  
4 would suspect whoever took this job in the first place might  
5 have done the same thing. But Mr. Leroy's program  
6 essentially boiled down to a "Trash-for-Cash" operation, that  
7 an approach was made to governors, to state entities, to  
8 tribal groups, and the bottom line was, "If you will take  
9 this nuclear waste, we will give you a ton of money, and you  
10 can have the money in any shape and form and amounts that you  
11 want, but please, won't you show some interest in this  
12 process?" And I was reminded of that New York garbage scow  
13 that went up and down the coast, and in fact went as far as  
14 South America, looking for a place to dump the trash from New  
15 York City, and no one would take it. And finally it was  
16 brought back to New York, where it was disposed of.

17           Having been in the political arena for eight years  
18 plus, I recognize the problems that political leaders have  
19 with that kind of operation. And the press immediately jumps  
20 on those kinds of proposals as being blackmail and bribery,  
21 and the perception that I hear the nation is trying to foist  
22 nuclear trash on a poor state, particularly a Western state,  
23 just is not acceptable. And then when Congress imposed the  
24 preliminary repository on Nevada, it sort of added to the  
25 frustrations and the suspicions of people with which we were

1 dealing.

2           And so my first task was to refocus the debate, to  
3 change the nature of the debate, to move away from the  
4 "Trash-for-Cash" proposition, and talk in terms of economic  
5 development, to refer to this product, this spent fuel, as  
6 more of a resource than a waste that no one really wants.  
7 And so we have done a number of things to try and give  
8 credibility to that notion.

9           I held a roundtable in Washington in early  
10 February. We brought some people from across the country to  
11 talk about some potential beneficial uses. And I've made it  
12 very clear from the outset that I'm not going to suggest  
13 reprocessing. That is totally contrary to this  
14 administration and the previous administration's proposals,  
15 and so reprocessing has never been an option.

16           Secondly, I took the whole notion of a permanent  
17 repository off the table as far as my office was concerned.  
18 We have a designated repository, designated by-law, in Yucca  
19 Mountain. So I focused totally on interim storage.

20           Thirdly, I concluded within my own mind that that  
21 kind of storage was necessary. It was in the nation's  
22 interest to have interim storage. It would solve a multitude  
23 of problems. And so we then began a search for a voluntary  
24 host, in which we addressed an economic development  
25 opportunity that would provide long-term jobs and that would

1 serve the nation's interests. And I've got to tell you that  
2 we have had some success.

3           Now, I inherited from my predecessor four Native  
4 American groups. In the interim, one of them, the  
5 Mescaleros, have opted to look at privatization, to establish  
6 an independent interim storage facility on their lands in New  
7 Mexico. We worked with them for a short time, but I was very  
8 up front and said any agreement that we negotiate has to have  
9 the blessings of Congress. And given the political  
10 opposition in the state of New Mexico, the likelihood of us  
11 being able to negotiate a satisfactory agreement and then  
12 have it pass with the very solid opposition of the two New  
13 Mexican senators and their governor is very unlikely. And so  
14 it was by really mutual agreement that they would consider  
15 the private route. I've encouraged them, I've suggested that  
16 this might be an option that ought to be considered.

17           Two other tribes, the Tonkawas of Oklahoma and the  
18 Shoshone Paiutes of southern Oregon are still considering the  
19 options, but they are trying to build political support in  
20 their own states. And I admire both of those groups, because  
21 they have really gone out of their way to try to cultivate  
22 political support. In the case of the tribe in Oregon, the  
23 Fort McDermitt Shoshones, they do have community support in  
24 both the counties, both on the Oregon and Nevada side of the  
25 line. They have support from some of the political

1 stakeholders, but there is still opposition from the  
2 Governor's Office. Senator Hatfield has expressed some  
3 opposition. So our message to them has been, "Continue to  
4 work with your state leaders. If you can build some support,  
5 we'll be happy to work with you."

6 This leaves the fourth tribe, the Goshutes. We are  
7 in the process of negotiating a cooperative agreement.

8 Now, just very briefly, under the previous  
9 administration, there were three levels of grants that were  
10 available to potential hosts. All four of the tribes  
11 received the first two levels. That amounted to about  
12 \$300,000 total.

13 The third level, or the next level, was what they  
14 called the 2-B grants. They were about \$1.8 million. And in  
15 last year's Energy Appropriation Bill, Senator Bingaman added  
16 an amendment that ended that grant; it was no longer  
17 available. And so I went to the Department of Energy and  
18 said, "Why don't you transfer some of those dollars to my  
19 office so that instead of giving open-ended grants to  
20 potential hosts we establish cooperative agreements, smaller  
21 dollar, with end results and specific goals and objectives  
22 developed therein." The Department of Energy was very  
23 cooperative. It took Dr. Dreyfus some doing, but some money  
24 was transferred.

25 We are now in the process of negotiating a

1 cooperative agreement with the Goshutes. We've also been in  
2 contact with the University of Utah, and one of the western  
3 Utah counties has expressed some interest. So there is some  
4 possible movement in that area. I've visited with the  
5 congressional delegation, and there's support expressed from  
6 that group. The governor has expressed some opposition, but  
7 he has also acknowledged a willingness to talk. And so we  
8 are optimistic that the Goshute lands in western Utah provide  
9 a real possibility for us. And if you've seen the press,  
10 there's been a couple of accounts in the national media about  
11 our work with the Goshute tribe of western Utah.

12           But we've expanded beyond the Native American  
13 groups to two other groups that show some promise. The last  
14 year or so, the climate has changed in terms of the national  
15 laboratories. With the end of the Cold War and the  
16 reductions of funding for operations at the national labs,  
17 there's some concern perhaps without a mission, without a  
18 long-term project, that we could see closures of some of  
19 these labs like we have seen closures of military bases.

20           So I've had conversations with some political  
21 leaders in a number of states that house national  
22 laboratories, and as we've laid out our program of economic  
23 development and research and some additional types of  
24 economic development opportunities, there has been support  
25 and some interest from those states.

1           And finally, we have been in contact with the base  
2 closure group. We've met on a couple of occasions with the  
3 under secretary about the possibilities of working with some,  
4 not all, of the bases. Obviously we're not interested in  
5 places like the Presidio in San Francisco. We're not  
6 interested in some of the bases that are in major population  
7 areas. But my staff has since met with the Air Force, the  
8 Navy and the Army liaisons in this realignment and base  
9 closure community, and there is an expression of interest and  
10 the possibilities that some of those facilities might be well  
11 suited.

12           So it's one thing to talk about introducing  
13 something new into a state, but when you have a state that is  
14 losing a significant economic driver like a base, then  
15 potential facility like we're talking about seems to make a  
16 great deal of sense.

17           My druthers would be a place that has had some  
18 experience dealing with nuclear materials. In many  
19 instances, bases that have housed B-52's and had nuclear  
20 arsenals meet that criteria. National laboratories that have  
21 had a long experience with nuclear materials meet that  
22 criteria.

23           I was asked to leave a little time for questions,  
24 so let me conclude with this thought, that the problem needs  
25 to be solved. Being part of Congress, I got frustrated over

1 the unwillingness of that institution to deal with long-term  
2 problems, to create debt, to create programs that were never  
3 adequately funded or not adequately taken care of, just to  
4 see the results of that be passed on to the next generation.

5 This is a problem that we have the science and the  
6 technology to solve. It is a problem that must be addressed.

7 There is a crisis developing as a number of the commercial  
8 utilities are finding it difficult to continue to have on-  
9 site storage. We saw that fight with northern states this  
10 year, and other states will be the scenes of that kind of  
11 battle.

12 I am very pleased that the president has tried to  
13 address this problem by appointing me. There was tremendous  
14 pressure on him not to fill this office, to leave it vacant  
15 with the assumption that if we didn't address this problem,  
16 then those with other agendas such as closing down the  
17 nuclear industry could have a field day. I visited with the  
18 leadership of both parties in both houses of Congress, and  
19 there is a commitment to work with this problem. So I'm  
20 committed to see this through. We hope that our progress is  
21 such that we'll have some announcements to make later on this  
22 fall. I'm optimistic that it can be solved.

23 And let me stop at this point with thanks for the  
24 invitation, and I'd be happy to respond to questions, to  
25 specifics, and we can go whichever direction you would like

1 me to go.

2 DR. CANTLON: Thank you, Mr. Stallings. Questions from  
3 the Board?

4 DR. BREWER: Yes, I do.

5 DR. CANTLON: Garry? Garry Brewer.

6 DR. BREWER: Brewer of the Board. In the final part of  
7 your commentary, are you alluding to the possible use of SAC  
8 bases and missile silos as interim storage sites?

9 MR. STALLINGS: Not necessary the silos, but we find a  
10 lot of those bases--or some of those bases have a lot of the  
11 infrastructure already in place, that if we look at just  
12 interim storage, it would not be difficult to build the kind  
13 of dry-cast storage facilities in one of the remote parts of  
14 those bases. I mean, you've got the fencing, you've got the  
15 security facilities already in place, and you've also got a  
16 certain amount of local support. Obviously if that community  
17 has dealt with hydrogen bombs for the last 20 or 30 years,  
18 this would be very mild by comparison.

19 DR. BREWER: I mentioned the silos because they're  
20 designed to take direct hits from nuclear weapons, and  
21 probably a more secure place can't be found on the place of  
22 the earth.

23 MR. STALLINGS: I would certainly look to this group for  
24 some suggestions on that. We have talked very briefly in  
25 terms of the kinds of facilities that would be needed. I

1 find that DOE is really following two paths. One is the MPC  
2 path under the assumption that I'm not going to be  
3 successful. If I am successful, then I think that's going to  
4 change the equation a bit and we're going to have to rethink  
5 the kinds of storage facilities. If I go to a national lab,  
6 I think the storage facilities would be different than if we  
7 go to some kind of base.

8 DR. BREWER: Thank you.

9 DR. CANTLON: Yes, Clarence, Clarence Allen.

10 DR. ALLEN: Clarence Allen. You stated in your final  
11 sentence that you hope to be able to make an announcement on  
12 this issue later in the fall. Can you be any more specific  
13 on your degree of optimism?

14 MR. STALLINGS: I really can't get into--the last thing  
15 I need would be the governors to read about what we're doing  
16 in the newspaper. I've got two that are interested that  
17 we're carrying on some very, very preliminary negotiations  
18 right now, and I would rather not go any further than that  
19 other than to say they are interested. And my discussions  
20 with the Senate, essentially what they're asking for is not  
21 impossible.

22 DR. CANTLON: John Cantlon, Board. How optimistic are  
23 you, since you've got a January sunset, that you're going to  
24 bring this to actual closure? Because getting the agreement  
25 politically is going to be the tougher step, and particularly

1 the Congressional approval.

2 MR. STALLINGS: Yes. I have really two  
3 responsibilities. The first is to negotiate an agreement--in  
4 fact, the term "negotiator" is a little bit of a misnomer.  
5 I'm more of an advocate. And so my first responsibility is  
6 to try to develop a package that will be a win-win situation,  
7 both for the states that we're looking at and for the nation.

8 The second part of the process would be, then, to  
9 sell this in the United States Congress. Again, as I said  
10 earlier, I think with the building pressure, the fact that we  
11 have twenty some states now that have filed suit against DOE  
12 over this issue, that we would have sizeable delegations very  
13 eager to see some kind of solution. If we are successful,  
14 then I expect an extension. At least a year's extension  
15 would be in order so that I could see this through the  
16 Congress.

17 I have really not promoted this. When I took the  
18 position, my mother asked why anybody in their right mind  
19 would want the job. Just the title is kind of scary, you  
20 know, "the nuclear waste negotiator." But I think it's a  
21 title that's honest and depicts what I'm about.

22 And so the conversations with the Congress is that  
23 if we are moving, if we're making some progress, they would  
24 be interested in extension. The same with the White House.  
25 They feel that there's a certain win-win situation. Because

1 I think the alternatives are very simple. If we don't solve  
2 this problem through a negotiated settlement, there are two  
3 options. One would be leave the material on-site until  
4 Yucca's open, or what is affectionately called "Screw Nevada  
5 3," which would take place next year. I think the latter two  
6 options are not really in the nation's best interest, and so  
7 I think a negotiated settlement really solves a lot of  
8 problems for a lot of people, and that's why I think that  
9 there would be support for a short-term extension.

10 DR. CANTLON: Since this is an election year and you  
11 need Congressional action, I presume, to get the sunset  
12 extended, what's the timing problem there?

13 MR. STALLINGS: Well, I've asked them to look at the  
14 options. The good thing is that it's not a funding issue.

15 DR. CANTLON: Yeah.

16 MR. STALLINGS: That there's enough carryover in the  
17 budgets. We've been very frugal and there's enough money  
18 left in the budget, so all I need is a simple authorization.  
19 Leaders on both sides have said that is not a difficult  
20 task. If I had to go in and ask for another million dollars  
21 in appropriated funds, that might be a little tougher, but  
22 given the fact that there's enough carryover that we can fund  
23 ourselves through most of next year, is really what I'm  
24 about. If this thing doesn't work, if it falls apart, then  
25 I'm going to suggest they close the office and look at one of

1 the other two options.

2           If we are successful, then I would think that this  
3 office not only has a role on this issue, but could do some  
4 things on other issues, because as you all know, we're really  
5 talking about political issues here. I mean, of all the  
6 sciences involved, political science right now is the one  
7 that we're dealing with. And I think I bring some skills, I  
8 have some respect for my colleagues, that I think that we can  
9 resolve a lot of the political sides.

10           Now, we're going to have to rely heavily on you  
11 folks to back up the transportation issues and the safety  
12 issues. But from my understanding, on the transportation,  
13 I've seen them bring spent fuel and different kinds of waste  
14 to Idaho for twenty years. I don't see that that is a great  
15 technical problem.

16           DR. CANTLON: Other questions from the Board?

17           (No response.)

18           DR. CANTLON: Staff? Leon, Leon Reiter.

19           DR. REITER: Leon Reiter, Staff. Mr. Stallings, you  
20 said that your emphasis has been rather "Trash-for-Cash" but  
21 to look at natural as a resource.

22           MR. STALLINGS: Yeah.

23           DR. REITER: But I think you also mentioned you're  
24 rejecting reprocessing.

25           MR. STALLINGS: Yes.

1 DR. REITER: Could you perhaps expand on how you view  
2 this as a resource?

3 MR. STALLINGS: Not being a scientist, this gets a  
4 little more difficult for me. I brought a scientist on  
5 staff, Bob Ljiimatainen, who was a staffer for the Science  
6 and Tech Committee when I served on that committee. We've  
7 also been working with a group of scientists from around the  
8 country looking at a variety of options. There are two or  
9 three projects underway currently that are examining  
10 different options.

11 One that I think has some promise is the creation  
12 of ozone without reprocessing. By some simple science, they  
13 have found that they can create ozone. Now, whether it's  
14 long enough lived or what the options are, the city of Los  
15 Angeles just spent millions of dollars buying and building a  
16 device that makes ozone for water purification. If this  
17 project of the INEL that they're working on now is  
18 successful, I mean we're looking at a technology that could  
19 be rather significant again without going into any  
20 reprocessing.

21 There seems to be some other kinds of projects that  
22 are under consideration. One of the points that I've made is  
23 that part of this package will be a significant research  
24 investment. We think there's a number of things that ought  
25 to be researched about spent fuel.

1           An additional possibility would be a project that  
2 the Argonne folks have developed called pyro-processing, that  
3 while it doesn't reprocess, it does do some things to the  
4 spent fuel that would simplify long-term storage. Instead of  
5 having to license a Yucca Mountain repository for 40 or 50  
6 different products, the pyro-processing, as I understand it,  
7 essentially takes the different types of spent fuel and puts  
8 it into two different types of products, one a longer lived  
9 and one a shorter. Now, whether that is doable or not, I  
10 don't know. But the latest DOE EIS that just came out listed  
11 pyro-processing as a process that they would like to proceed  
12 and follow up on. So again, I'm giving you a layman's  
13 explanation, but the scientists that I've got advising me and  
14 working with me tell me that this is a very real opportunity.

15           DR. CANTLON: Other questions from the Staff?

16           (No response.)

17           DR. CANTLON: Questions from the audience?

18           (No response.)

19           DR. CANTLON: If not, then, we certainly thank you, Mr.  
20 Stallings. Appreciate it, and we wish you success, and we'd  
21 be happy to help you in any way we can.

22           MR. STALLINGS: Thank you very much, I really appreciate  
23 that. You know, once I took this job, the expectations of  
24 success were so low that even if I make a little headway I'll  
25 be great. So thank you.

1 DR. CANTLON: Thank you.

2 The remainder of today's meeting is devoted to the  
3 subject of transportation of spent fuel. This is an  
4 important subject, as we've just learned, and it has been the  
5 focus of quite a few meetings held by the Board's Panel on  
6 Transportation & Systems. Until his term expired on the  
7 Board on April 19th, Dr. Dennis Price was the Panel chair.  
8 Since April, Dr. Price has served the Panel and the Board as  
9 a consultant. In the interest of continuity, while we're  
10 waiting for his replacement from the White House, he has  
11 agreed to preside over this session. So let me turn the  
12 floor over now to Dr. Dennis Price.

13 DR. PRICE: Thank you, Dr. Cantlon. As you said  
14 previously, the topic of yesterday was the transport of  
15 radionuclides and related high-sounding things. The topic of  
16 today is not the transport of a cation, but the topic could  
17 be mispronounced, without affecting spelling, as transport at  
18 ion. High-sounding, but somehow I guess I don't like it,  
19 I'll take transportation.

20 Transportation is not an earth science, but it is  
21 down-to-earth, where the rubber meets the road and gravel  
22 fill supports the rails. If Kadie is a driver today, it will  
23 be from her train or 18-wheeler cab. If we talk of travel  
24 time today, it will not be measured in terms of 1,000 years,  
25 but the prevailing speed limit. Gas flow concerns will arise

1 when the spent fuel gauge reads "empty." We do not retard,  
2 we brake. The speaker probably says trucks, not flux.  
3 Pneumatic pathways refers to routes suitable for air-  
4 cushioned suspension systems and for tires with air.

5           Transportation of spent fuel, however, is an  
6 important part of nuclear waste management. And it has been  
7 the subject, as you said, of many meetings held by the  
8 Board's Panel on Transportation & Systems. We have been  
9 briefed by the DOE in the past on different parts of its  
10 transportation program, and we will be getting updates on  
11 some of these today. We have also held a number of public  
12 hearings on issues of concern about safety of spent fuel  
13 transportation. In fact, one of those public hearings was  
14 held in Denver, in this hotel, in August of 1991.

15           These panel activities notwithstanding, this is  
16 the first time that the Board as a whole is meeting on this  
17 subject. It is appropriate, therefore, to set the stage with  
18 an overview of the context before proceeding to the  
19 specifics. We will begin this session with a presentation  
20 from the U.S. Department of Transportation, which is the  
21 primary safety regulatory agency, and we appreciate their  
22 courtesy in being here today. From there we move to the DOE  
23 transportation program, starting with an overview and  
24 progressing in detail about specific parts of the program.  
25 This will comprise a major portion of the session. The

1 presentations about the DOE program will be followed by  
2 perspectives from the railroad industry.

3           We have provided time for comments from the  
4 audience at the end of the day. And if necessary, I will  
5 serve as a time keeper for the speaker. I will signal you  
6 five minutes, three minutes, two minutes, one minute and  
7 stop. And if you would, please, if I signal at five minutes  
8 to go, please allow time for questions by trying to stop as  
9 soon after that five-minute signal as possible. That may not  
10 be necessary, I may not hold up a card all day long. We'll  
11 see how things go.

12           Our first speaker this morning is Richard Hannon,  
13 Director of the Office of Hazardous Materials Planning and  
14 Analysis with the U.S. Department of Transportation. That's  
15 DOT, not DOE. And we appreciate your being here this  
16 morning.

17           MR. HANNON: Good morning, and thank you. My name is,  
18 as Dennis has said, Richard Hannon, known as Dick Hannon. I  
19 am with the Department of Transportation, a large  
20 organization, as you will see. This will be an overview,  
21 fairly informal. I think Dennis set a tone that I feel most  
22 comfortable with. This is a serious subject, don't let any  
23 injections of humor detract from the seriousness with which  
24 we do address the issue.

25           In preparing for this session, I looked over some

1 remarks I prepared in 1984. And in many ways, I could have  
2 done the same presentation. I offer this as a question as  
3 much as a statement. We do have greater specificity in many  
4 things in our regulations. I think many of the parties that  
5 were participating in the debate on the transportation side  
6 in 1984 are still participating, and the level of discussion  
7 has always been high. We deal with lots of materials, lots  
8 of controversy, but I don't think there's an issue that has a  
9 higher level of involvement and concern by the general and  
10 the effective public.

11           So what I will be doing is providing, through an  
12 introduction, what I will be telling you, or attempting to,  
13 in an overview of transportation. There is not geo in  
14 anything I will be saying. I looked at the papers from  
15 yesterday, and I usually am a pack rat. I couldn't take any  
16 of them home because I couldn't understand the titles.  
17 Hopefully I will get across what we mean by transportation,  
18 address the federal roles and authorities, the safety  
19 regulatory program at the Department.

20           No discussion of federal-state relations would be  
21 complete without some addressing of preemption and routing  
22 issues. Discussion of our external relations, quick overview  
23 of a couple mandated studies, current nuclear issues at the  
24 Department, and hopefully show how the Department is involved  
25 with these issues. They will be the Foreign Research Reactor

1 Return Program and also the New York City issue, one of the  
2 longest running regulatory issues we've had at the  
3 Department. It's now in its eighteenth year.

4           This is a depiction of the Department and its  
5 operating elements. With a flick of an illustrator, we got  
6 rid of the many levels of assistant secretaries and  
7 secretarial offices. These are the operating elements. Many  
8 of you are probably familiar with, if you got here by air,  
9 you know about FAA. NHTSA does highway safety, air bags and  
10 so forth.

11           The Department has three main characterizations.  
12 It's a safety agency first and foremost; it's a promotional  
13 agency, like Federal Highway and the Saint Lawrence Seaway;  
14 and an operational agency. Many of the administrations  
15 provide all of these services.

16           I'd like to focus on the four operating elements  
17 within the Department that are concerned with the movement of  
18 high-level radioactive materials, spent fuel, if you will.  
19 There's a certain degree of graphic license. I am not a  
20 technical person, I am more of an economist now policy maker,  
21 and I don't know if all these things add up to anything, but  
22 I'll leave that to the artist.

23           All of these agencies have an enforcement  
24 responsibility. The Coast Guard is the water side of  
25 hazardous materials. It does promulgate and enforce the

1 regulations for bulk materials by water. The Research and  
2 Special Programs, of which I am a part, is the primary  
3 regulating agency within the Department for hazardous  
4 materials. We promulgate the regulations for non-bulk by  
5 water and all other modes--air, land, the rail and highway  
6 components. The Federal Highway and the Federal Rail  
7 Administrations are primarily enforcement or operational  
8 agencies. Federal Highway recently--recently in like atomic  
9 time--three years now has had the responsibility for the  
10 routing of hazardous and radioactive materials.

11           This is the reason for being at the Department  
12 right now. Secretary Peña, who's a former mayor of the city  
13 of Denver is very committed to the National Transportation  
14 Strategic Plan. This is an outgrowth of the National  
15 Performance Review--Vice President Gore, President Clinton  
16 and so forth. It's a reassessment of what is government  
17 about staying in touch or sometimes getting in touch with its  
18 customer. This was released in January of '94. It has seven  
19 basic goals.

20           One that is most related to this issue is Goal 4.4.  
21 It's to promote the safe and secure transportation. And the  
22 objectives as you can see--I won't read them all--but this is  
23 somewhat of a guidance that we're given to speak on. The  
24 reason for much of what we're doing is to also--we  
25 specifically at RSPA have a goal to reduce the deaths and

1 injuries of hazardous materials. It is not a high  
2 consequence business right now. The average over the last  
3 ten years have been on the order of eleven or twelve  
4 fatalities in the interstate transportation of hazardous  
5 materials.

6 I'll get into the federal roles and authorities,  
7 upper and lower. The upper two organizations are primarily  
8 the regulators, and in the case of spent fuel transportation,  
9 the Department of Energy is the regulator. I will speak  
10 about the basic legislation that gives us the authority to  
11 act.

12 In DOT's case, it's the Hazardous Materials  
13 Transportation Act. Under the HMTA, we regulate safety in  
14 transport of hazardous materials, including radioactive  
15 materials. This extends to certain packages and the  
16 regulating of the conduct of shippers and carriers in  
17 commerce. Commerce is the key word. So the clear  
18 distinction was made in the recent amendments act that we had  
19 in 1990 that the Department of Energy and its contractors are  
20 subject to the U.S. DOT regulations.

21 The only recognition of DOT in the Nuclear Waste  
22 Policy Act was Section 137, and it had two parts, one which  
23 has been corrected. I think it was probably a function of  
24 loose law writing. But it had to do with the spent fuel to  
25 interim storage would be in accordance with regulations and

1 requirements of commercial spent fuel. That's clearly been  
2 extended to any shipments under the program by DOE, not just  
3 to interim storage.

4           And the second part had to do with using the  
5 private sector to the fullest extent possible. I think with  
6 the number of commercial entities interested, that will be  
7 satisfied. But if it did reach an impasse, there is a fairly  
8 obscure part of the NWPA that has the Secretary of Energy  
9 asking the Secretary of Transportation to make a  
10 determination that the private sector is not fit, willing or  
11 able to provide transportation services for the DOE program.  
12 That's very unlikely. The key part, I think, is the fit,  
13 willing and able at reasonable cost. So I think it's to give  
14 a little leverage so that DOE's not held up unnecessarily.

15           You're probably most familiar with the  
16 responsibilities of DOE under the Act and the amendments.  
17 And the NRC has basically the same statutory basis, but  
18 different areas of emphasis.

19           To resolve or at least address overlapping  
20 regulatory responsibilities, the Department of Transportation  
21 has entered into Memorandum of Understanding with the Nuclear  
22 Regulatory Commission. This MOU was adopted in 1979 and is  
23 still actively in force.

24           The Department of Transportation, with regards to  
25 the international shipments, is the national competent

1 authority. But most domestic activities are a shared  
2 responsibility, with DOT having a responsibility for  
3 developing the overall safety standards for the mechanical  
4 condition of the carriers, the driver, the operating  
5 conditions, the communication of the hazard, the placarding  
6 and the classifying materials.

7           We also have the responsibility for the package.  
8 This is all the way up through the Type A package, which is  
9 the dividing line for the basic regulatory structure. Low-  
10 level radioactive wastes and Type A packages are not the kind  
11 of materials that the Board is principally concerned with.  
12 You're principally concerned with the activities that the  
13 Nuclear Regulatory Commission is responsible for.

14           As you can see, the Commission is responsible for  
15 the regulating receipt, the possession of the materials. To  
16 provide safety and transport, a spent fuel package must  
17 provide three functions, and the Nuclear Regulatory  
18 Commission is responsible for those standards. It has to do  
19 with the containment of the spent fuel, the shielding from  
20 radiation emitted by the spent fuel, and the control of spent  
21 fuel to prevent criticality. So the NRC reviews the Type B  
22 package, which will be the package used for the movement of  
23 the spent fuel.

24           An additional activity that the NRC has has to do  
25 with safeguards. They review routes to see that they meet

1 the safeguard conditions imposed by the Commission. It's a  
2 security review. These reviews are done in conjunction with  
3 the Department of Transportation, which looks at routing from  
4 the safety aspects. So NRC won't approve a route from a  
5 safeguard standpoint unless it complies with the regulations  
6 as to safety regulations with routing.

7           Another Memorandum of Understanding we have entered  
8 into is with the Department of Energy. Fortunately, you  
9 can't make it out, but the logo there for DOE is the one for  
10 NRC. I don't know who to apologize most to, but in the  
11 printed version, it's correct, with DOE. This memorandum was  
12 entered into in 1985. It's never really been activated. It  
13 was as much a marriage of convenience as anything. It has  
14 grand words, and we've really not gotten to a point of  
15 conducting anything under it. So it has the form of an  
16 agreement to agree and an agreement to disagree. It's on  
17 paper, but it's not been activated.

18           The area that I will primarily address are those  
19 responsibilities that are carried out by the Department of  
20 Transportation. This is reflected in the Hazardous Materials  
21 Transportation Act. This was a clear statement by Congress  
22 of a uniform system of regulations for the moving of  
23 hazardous materials. This was first enacted in 1974. The  
24 clear statement of uniformity was reaffirmed in the 1990  
25 amendments, which was called the Hazardous Materials

1 Transportation Uniform Safety Act, known and loved as HMTUSA.

2           The basic law was in effect for sixteen years.

3 There was substantial amendment to it, but the basic thrusts  
4 remain, that the Secretary shall issue the regulations both  
5 for intrastate, interstate and foreign commerce. To date,  
6 the Department has been fairly limited in the imposition of  
7 its regulations to purely intrastate operations.

8           The question you've always wanted to know, what is  
9 a hazardous material? In effect, it's what the Secretary  
10 says is a hazardous material. Since he was well known and  
11 well liked out here, I'll give him due deference. But  
12 there's been, other than the traditional roles of public  
13 health and safety and the minimization of property damage,  
14 over the last few years, the question of the environment has  
15 been added to the equation to determine what is a material or  
16 substance that does pose an unreasonable risk.

17           This is a table showing incidents of hazardous  
18 materials. Incident is an unauthorized spill of a hazardous  
19 material into the environment. As you can see, there's  
20 something approaching 13,000 in the most recent calendar  
21 year, '93. These are shipments of hazardous materials, any  
22 quantity, in interstate transportation. And it's a listing  
23 in rank order, as you can see--flammables, corrosives,  
24 poisons and so forth. And fairly low on the list is  
25 radioactive materials.

1           This is not to minimize the importance. I think a  
2 larger percentage of my time is spent on this issue than on  
3 any other. Gasoline and flammables are what cause the  
4 problems in the country, but it's a well understood material  
5 by the general public. It's fairly well understood by the  
6 response community. And there's a clear understanding of the  
7 benefits by the public of what these materials can do for  
8 them. This is not necessarily the case for radioactive  
9 materials, but I'll leave that to other learned people to  
10 address and resolve.

11           But with radioactive materials, the eight incidents  
12 that were reported all had to do with radiopharmaceuticals.  
13 And there's significant movement of these materials,  
14 something in the order of three million shipments a year.  
15 And seven of the eight were by the air mode, which is not too  
16 attractive a mode for the movement of spent fuel.

17           The way we basically do things, being a safety  
18 regulatory agency, is to write rules. Our rules are codified  
19 in code of federal regulations under Title 49. It's 800-plus  
20 pages of the Hazardous Materials Regulations, a very  
21 comprehensive body of regulations. It's actually down from  
22 about 1,100 through a streamlining effort. I guess we don't  
23 do Conestoga wagons anymore. The HMR, the regulations, do  
24 set the framework. These are the rules that the shippers and  
25 carriers have to abide by. There are procedures for granting

1 exemptions and special conditions from these regulations, but  
2 the HMR is the body that must be complied with.

3           The rulemakings were primarily a prevention  
4 activity, and the rules of operating practice, which, if  
5 rationally conceived and consistently followed, will minimize  
6 the chances of system failures. We work hard at least to  
7 rationally conceive the regulations. It's always a question  
8 of debate. But it is an iterative process. The regs have  
9 been in effect for a long time for not just all hazardous  
10 materials, but specifically for the radioactive materials.  
11 I'll show on a later slide what the activity level has been  
12 for spent fuel and address a little bit these materials have  
13 basically been moving fairly incident free. There have been  
14 incidents, not to say there haven't been, but the exposure of  
15 the public has not occurred.

16           Principal components of our rulemaking process has  
17 four elements: to classify, control the packaging, the  
18 operations, and figure out how to communicate what the risk  
19 and hazards are. The classification has to do with whether  
20 it's flammable, poison, corrosive, that list I showed earlier  
21 of what types of incidents have occurred. The packaging, as  
22 I said, we do Type A, NRC does Type B with regards to  
23 radioactive materials. Operations has to do with how the  
24 materials are placed on vehicles, marked, secured and so  
25 forth. And the communication has to do with the shipping

1 papers, emergency response guidance, the notification.

2           Our notification requirement is a post-  
3 notification, which is counter to general belief by some  
4 states that there is a need for pre-notification. Pre-  
5 notification always has occurred, I believe--it's a word I  
6 feel uncomfortable using, always--but we don't see a  
7 regulatory need to require it. Studies that were done for us  
8 indicate that if we required pre-notification of shipments  
9 going through areas, it would be required for many more  
10 materials than just radioactive materials. And when it has  
11 occurred, it just basically ends up in somebody's desk  
12 drawer. So the benefits we don't see are there. In the  
13 earlier days, probably in 1984, when I gave these remarks, I  
14 think that the governor didn't want to know it was in the  
15 state. Now they want to know it's coming so they can find  
16 ways to maybe prohibit its movement.

17           But that's the basic approach we use for  
18 rulemaking.

19           To describe a little about how we deal with states  
20 and local organizations, it's a process called preemption.  
21 There's a very clear mandate in both the 1990 Act and the  
22 1974 original Act which is a clear statement of when laws and  
23 regulations at state and local level are inconsistent with  
24 this national uniform system that they are preempted.  
25 There's been some clarification in the '90 Act, but the

1 thrust of it is still there. The presumption is a safe  
2 transportation will occur if there is compliance with federal  
3 regulations and enforcement.

4           So the three main elements of the preemption  
5 process: The first bullet I won't read. It basically  
6 recognizes a dual compliance test, also known as the  
7 Impossibility Test. The second bullet has to do with the  
8 obstacles, whether a state or local requirement presents an  
9 obstacle to comply with the federal regulations. And the  
10 third bullet was added in the 1990 amendments, which  
11 delineates covered subjects that on their face are  
12 inconsistent and therefore preempted.

13           It's probably the most contentious area we deal  
14 with in state relations, but probably two-thirds of the  
15 preemption cases that have been decided at the Department of  
16 radioactive materials as either the principal or the  
17 secondary element. So it has tested our process.

18           Prior to the 1990 amendments, these preemption  
19 decisions were advisory in nature. Courts, the judicial  
20 system, did give due deference to the Department's decisions,  
21 but they were nonbinding. In 1990, the Congress in the  
22 legislation made these legally binding, but still with legal  
23 review possible.

24           A specific area that has served for a great deal of  
25 controversy has to do with highway routing. Not so much yet

1 the routing or movement of fuel by other modes. No  
2 proceeding to date, or at least for a long time, has had a  
3 greater impact on the ability or the inability to move  
4 radioactive materials than HM-164. HM-164 is the docket  
5 number established at the Department to establish routing  
6 guidelines for highway. I think that's probably changed.  
7 Routing is probably not having the greatest impact on the  
8 ability or inability to move materials. Probably been  
9 replaced by NEPA and the environmental activities. But it's  
10 still a strong player.

11           The basic regulations were established,  
12 promulgated, January of 1981. January 19th, to be exact, was  
13 the last full day of the Carter Administration. As  
14 background, this was the first thing that we had reviewed by  
15 the incoming Reagan Administration. It did stand muster. It  
16 has stood muster all the way to the Supreme Court. And it is  
17 an area that does generate a lot of controversy. I think in  
18 the last ten years that the ability to measure effects has  
19 been an area that has improved. The metrics that were used  
20 then were not as sophisticated as the ones now. This may be  
21 an area that will be reviewed.

22           This is, as I mentioned earlier, a responsibility  
23 now of the Federal Highway Administration. There was a  
24 realignment out of the 1990 Act where modal activities are  
25 now being addressed by the mode involved intermodal

1 activities and the basic promulgation of regulation still  
2 remains with RSPA.

3           The basic criteria for highway movement is to  
4 reduce time in transport. And as you'll see now with other  
5 modal options, there's not a great wealth of regulations in  
6 effect. The state designation of alternative routes is an  
7 option that is available. It's an option that's been  
8 exercised by about eight or ten states. Colorado is one of  
9 the leaders in that area. But there's not much moving.

10           The highway mode has very specific regulations and  
11 routing guidelines and standards. Federal Rail, in the rail  
12 mode, doesn't have that same body of guidance. The basic  
13 guidance they have in regulation is no unnecessary delay.  
14 You know, wars and lawsuits are fought over words like that.  
15 But this is a policy statement that the Federal Rail  
16 Administration has in effect. It's been in effect since the  
17 Three-Mile Island shipments in the mid- to late 1980's.

18           So prior to a shipment, the Federal Rail inspectors  
19 will inspect the right-of-way, see that it complies with all  
20 existing federal regulations. They'll conduct reviews to see  
21 that the train crews are qualified and are complying with the  
22 operating requirements.

23           And prior to the first shipment and each subsequent  
24 shipment, they will also review the rolling stock, the  
25 locomotive, the cast car, various buffer cars, whether

1 there's a caboose or not.

2           This is an area in Three-Mile Island that, strange  
3 as it may seem, the buffer cars are there to provide some  
4 additional support in case there is a derailment. Let them  
5 take the shock first. There was a car marked as a hazardous  
6 material car used as the buffer car. In fact, it wasn't  
7 containing any hazardous material, but it did create a lot of  
8 controversy. So the basic buffer cars are to just be either  
9 sand or some fairly benign material, not a load of flammable  
10 or corrosives or poisons.

11           The cast cars are specifically inspected as to  
12 their ability to comply with the regulations. Also the  
13 shipping papers. We're not in the business of providing the  
14 radiologic inspections and examinations. That's usually done  
15 by the NRC, and usually the state agency's around. But the  
16 follow-up inspections for the signal system and the track is  
17 done at intervals not to exceed six months.

18           This table depicts the level of activity of  
19 domestic and international spent fuel shipments since 1979 to  
20 the current year to date. As you can see, there's been not a  
21 lot of activity. These numbers compare with numbers like  
22 500,000 shipments a day for hazardous materials. So these  
23 are very unique shipments. There's a story that goes with  
24 each one. And at the end, I will illustrate one that's  
25 currently under way with the foreign fuel and the New York

1 City issues. So the numbers have never been very large. I  
2 think the peak year was 1984 with 209 highway movements. And  
3 as you can see, there have been five so far this year by  
4 highway and two by rail, so it doesn't appear to be a growth  
5 business.

6           These are commercial spent fuel shipments. These  
7 numbers come from the Nuclear Regulatory Commission. DOE may  
8 have other--the level of activity is higher than this, but  
9 these have to do with those that come under the regulation of  
10 NRC.

11           This is a portrayal of government industry  
12 relations, somewhat idealized. The people are all around the  
13 table. I strongly believe that this is how it gets done.  
14 The public is one person standing there to portray the  
15 public. That's our charter, is to be concerned with public  
16 safety. Lots of people have that charter, and sometimes the  
17 issue seems to be in conflict. But this is some of the  
18 players in the nuclear arena. It's not to be an exhaustive  
19 list, it's just to be representative.

20           Our community of interest is probably strongest  
21 with the enforcement community. We deal with the highway  
22 patrols, the DOT's, the state DOT's, so forth. We expend  
23 resources in training and providing outreach materials to  
24 them through forums like COHMED. It's a Cooperative of  
25 Hazardous Material Enforcement Development activity with the

1 states. And Federal Highway has a program called the Motor  
2 Carrier Safety Assistance Program, which has reasonable  
3 amounts of money, something on the order of \$60 or \$70  
4 million a year, that goes to assist states in enforcing  
5 hazardous materials regulations.

6           The State and Local Emergency Preparedness  
7 Organization is a fairly recent activity that we've taken on.  
8 FEMA has the basic federal responsibility to coordinate the  
9 federal response. We have a grant program, which I'll  
10 illustrate in a minute, but that's to provide funding to the  
11 emergency response community to better plan and also train  
12 for emergency response to hazardous materials incidents.

13           The Emergency Preparedness Grants Program was  
14 established in the 1990 law. It is in effect now. The  
15 graphic shows 47 states. These are the ones that were given  
16 out in the first year. The second year funding has just  
17 been--the letters are, I think, in the mail, or should have  
18 been received. So the 47 states are now 50. In the first  
19 year, a couple states didn't participate, some were late, and  
20 one didn't think he needed the money. But apparently a state  
21 program didn't pan out, so they're now all participating in  
22 this program.

23           The money, 8.4 million, you divide 50 or 55 into a  
24 number like that, it doesn't come out very large. This is to  
25 be a highly leveraged, I think is the word, program. It's to

1 be an increment above the existing state and local funding.  
2 It is really to provide funding for the EPA Title 3 community  
3 right to know responsibilities that your friendly federal  
4 government imposed on state and locals but didn't send any  
5 money to, so this is an attempt to fund those state and local  
6 activities.

7           The monies collected in a federal registration  
8 program are collected at DOT. In fact, in my office. I used  
9 to have a full head of black hair, but having a registration  
10 program will age you terribly. But the money basically comes  
11 in and then sent back, with a small handling charge, to the  
12 states. There's a \$300 fee. We have something on the order  
13 of 26,000 registrants, both shippers and carriers of  
14 hazardous material.

15           Under the 1990 Act, there were two mandated studies  
16 in the area of radioactive materials, both emphasizing public  
17 safety. I think the emphasis was very clear. It was to not  
18 consider economics. It was to really look at the safety  
19 aspects. The two studies are the Mode and Route Study and  
20 the Dedicated Train Study.

21           The emphasis for these studies came out of the  
22 Three-Mile Island shipping campaign of the late '80's, the  
23 movement of the debris from the reactor at Three-Mile Island.  
24 A lot of it was generated in St. Louis, which was the  
25 interchange point between Conrail and the Union Pacific

1 taking the materials to Idaho Falls.

2           Senator Danforth, senior member of the Senate  
3 Commerce Committee, was very interested in this issue. He  
4 was looking for another junction point, in essence. Part of  
5 the economic development history of this country was written  
6 by railroads. There aren't a lot of places where you can  
7 move things east and west. Basically, Chicago or St. Louis  
8 or something more southern. So St. Louis was the gateway to  
9 the west that was chosen. This was in--it's easy to  
10 calculate--1988, because Senator Danforth was up for  
11 reelection at the time.

12           But a study was done by the Department, and  
13 specifically my office, looking at the process that the  
14 Department of Energy used to select the mode and the route  
15 for the movement. And it essentially made sense. It  
16 minimized or reduced the time in transport. And the times  
17 involved, DOE did use a dedicated train.

18           The schedule that Conrail offered to move by  
19 general freight between Three-Mile Island near Harrisburg to  
20 St. Louis was on the order of twelve or thirteen days. It  
21 would have stopped, I think, at every local junction on the  
22 way. I think it got finally moved--it moved something like  
23 two or three days from Harrisburg to St. Louis, with lots of  
24 pressures brought on to keep the material moving. As I said  
25 earlier, the basic federal guidance is no unnecessary delay.

1 The difference between two or three days and twelve or  
2 thirteen days would have been a call we might have had to  
3 make. But the material did move expeditiously when it  
4 finally did move.

5 There were a couple incidents, a grade crossing  
6 accident in St. Louis. These shipments all have stories and  
7 anecdotes that go with them. I won't bore you with them  
8 today.

9 The Mode and Route Study is a study that my office  
10 is responsible for in the Research and Special Programs  
11 Administration. It is a study that under the law we had to  
12 start within twelve months. We're taking full advantage of  
13 the Congressional language. Usually they tell you when it  
14 has to be finished, not when you have to start it. We did,  
15 in fact, start this within the window. It's not yet been  
16 completed. It is a study that is different than the  
17 Dedicated Train Study. There is no rulemaking involved with  
18 the Mode and Route Study.

19 Its purpose is clearly stated there, to determine  
20 which factors, if any, should shippers and carriers use in  
21 selecting modes and routes. And public safety, we've  
22 extended that to include the environment.

23 And the study on the next slide, we've received  
24 comments to a draft report that was made available to--I  
25 think we attempted to send them directly to interested

1 parties, and also it's availability was announced in the  
2 Federal Register. We received eighteen comments from either  
3 industry groups, state, groups of state, like the Western  
4 Interstate Energy Board, and just plain interested people.

5           The public comments, I think without prejudicing  
6 the release of the report, because it's in final review,  
7 we're centered on the four bullets you see here, the  
8 perceived risks, the safety afforded by the cask, the weights  
9 for selection factors. The overall comment that the study  
10 was of questionable utility. These are my words, not  
11 others'.

12           The perceived risks, it was unique that state and  
13 local governments, and carriers agreed on this one. It's an  
14 issue that we felt was beyond the scope of the resources that  
15 Congress gave. We did more of a traditional risk assessment,  
16 not into the iffy, touchy, feely field of perceived risk.  
17 But to repeat, the state and local governments and carriers  
18 agreed that perceived risk is a significant factor in  
19 selecting a mode or route. We subscribe to that, we just  
20 weren't equipped to handle it in this study. This will not  
21 be the last study in this area.

22           The safety afforded by the cask was somewhat an  
23 annoying comment from the Department of Energy. They said  
24 basically that anything done in the area of mode and route  
25 selection was unnecessary. The reports basically came from

1 the former defense side. It did, to me, represent thinking  
2 of a decade ago.

3 I think there is general agreement, and Jim Carlson  
4 and the OCRWM program can address this more specifically.  
5 But I think there has been a dawning of enlightenment that  
6 mode and route selection is a factor that needs to be  
7 considered. And we will work with DOE and others, or if the  
8 Congress mandates us to do a study, it really gets into that  
9 next phase of perceived risk that we would obviously carry  
10 out the Congressional mandate. But for this study, with the  
11 \$300,000 that was made available, with all the carrying  
12 charges that we have, it just was beyond the scope of this  
13 one.

14 Weights for selection was another one. We would  
15 like to be able to put weights on, but we're in no position  
16 to do that yet.

17 The questionable utility, we were criticized that  
18 the study really didn't focus on NWPA shipments. That was  
19 conscious, maybe cowardly, but it was conscious. We  
20 preferred a more generic approach, looking to our good  
21 friends at the office of Civilian Radioactive Waste  
22 Management to get into that when their routing criteria is  
23 discussed. But there are shipments underway, and it's hard  
24 to say when they're going to be NWPA shipments.

25 So we were looking at things for the near term.

1 The studies should serve as a building block for the next  
2 round of studies in the area.

3           So the status is, starting with the bottom first,  
4 we hope to have it available in the fall. That's something  
5 in the order of late September or October. It will not be a  
6 report to Congress, it will be a report that will be  
7 transmitted to Congress, as it will be made available to  
8 interested parties.

9           Now on to Dedicated Train. The Dedicated Train  
10 Study is the responsibility of the Federal Rail  
11 Administration. This study is being done in-house by our  
12 system center in Cambridge, Massachusetts, the Volpe National  
13 Transportation System Center. And again, the emphasis on  
14 safety. Cost in dollars is not a consideration.

15           And the purpose is to assess the comparative safety  
16 of transporting high-level radioactive materials by dedicated  
17 trains, which is a term that begs for definition, but it is a  
18 train basically dedicated to the movement just of the spent  
19 fuel. There are no other commodities being moved.

20           And this study will result in rulemaking, I  
21 believe. If the Federal Rail Administration believes that no  
22 rule changes are necessary, the burden is on them to state  
23 that and convince the Congress of that. There is very  
24 specific language in the 1990 law saying in effect this  
25 should lead to rulemaking.

1           Some of the comments that we got on the  
2 deficiencies in the Mode and Route Study will be addressed in  
3 the Dedicated Train Study. In particular, some comments by  
4 the Western States Energy Board looking at multicask trains.

5           So the release of both studies will probably be  
6 pretty close in time, and I think they should probably both  
7 be looked at together. It's still in the review process  
8 within the Federal Rail Administration. It has not been sent  
9 to other elements of the Department before it's sent to the  
10 Secretary, before it's sent to the Office of Management and  
11 Budget, before transmittal to the Congress. The initial  
12 draft of the report was submitted to FRA in February of '93,  
13 and they're still indicating September 30 date to Congress.  
14 This is a fairly optimistic date, I believe. These tend to  
15 move glacially in our review process.

16           We're almost there. The current nuclear issues,  
17 I've selected two. I will talk about the last bullet first,  
18 which is the New York City case. This issue has been around  
19 since 1976. It was the precursor to the highway routing  
20 rule. The city is now before the Department seeking a waiver  
21 of preemption, which is basically an admission that they're  
22 inconsistent with the national scheme of routing, but that  
23 their approach offers an equal or greater level of protection  
24 to the public without creating an undue burden on commerce.

25           They have suggested a route that would utilize a

1 ferry boat. I believe a dedicated ferry boat. I guess that  
2 will be the next study. A ferry boat across Long Island  
3 Sound to Bridgeport, Connecticut. And as you could imagine,  
4 Connecticut has some views on that.

5           One of the basic guidelines that we have in all of  
6 our regulations and preemptions and reviews is that the  
7 export of a risk is a no-no. These materials you shouldn't  
8 dump on your neighbor, in effect. But the routing scheme  
9 basically only works if the states work together. They're  
10 part of the reason why more hasn't moved.

11           But as I said, It's been eighteen years on and off  
12 with them. A decision should be made, hopefully, this fall.  
13 Hopefully it won't get tied up in various elections and so  
14 forth.

15           But the 1990 amendment gave the Department  
16 discretion to grant a waiver of preemption. So if the city's  
17 petition does show that it's fit, willing and able to use  
18 that ferry boat route and doesn't unnecessarily burden  
19 commerce, we still have discretion. It's discretion that we  
20 will look very carefully about exercising. It could well be  
21 tested in a court again, either by Connecticut or by New York  
22 City.

23           The second current issue that is illustrative of  
24 the roles we play. The first time I saw it, it looked like  
25 one of Hitler's battle plans, I think. It's a little too

1 ominous. But we do take graphic license now and then. The  
2 "urgent-relief acceptance of foreign research reactor spent  
3 nuclear fuel" is an issue that's on the table right now. Our  
4 staffs were meeting last week in Augusta, Georgia with the  
5 affected southern states.

6           This initial program, of which DOE has released an  
7 environmental assessment and a finding of no significant  
8 impact on, involves 409 spent fuel elements being returned  
9 from seven countries in Europe: Austria, Denmark, Germany,  
10 Greece, the Netherlands, Sweden and Switzerland. When this  
11 research field was made available to them over the last many  
12 years, a condition of sending the fuel was that we would  
13 accept the fuel and require its return to the United States.  
14 We have a little problem now of where to put it.

15           So that's DOE's problem, and for now, the SRS there  
16 is the Savannah River Site, which is the planned storage site  
17 for this fuel until its final resting place has been  
18 determined. The Department deals with the ocean side of that  
19 through the Coast Guard. Sunny Point, North Carolina, is  
20 probably not on most tourist maps, but it is the military  
21 ocean terminal at Sunny Point, called MOTSU. And it is the  
22 basic weapon shipment point for munitions going in and out of  
23 the southeast part of the United States. They have lots of  
24 experience moving fairly exotic, nasty materials. It's a  
25 state-of-the-art facility. What they didn't want, I think,

1 is another customer.

2           These materials would be brought in on commercial  
3 vessel. The casks that they're talking about using would, I  
4 think, be all foreign certified casks. They would be highly  
5 legal weight casks. And the 409 fuel elements would probably  
6 require fifteen cask loads. And they hope to assemble seven  
7 or eight casks so the shipping campaign could be completed  
8 with just two ocean-rail shipments.

9           Rail is the identified mode out of Sunny Point to  
10 Savannah River. That straight line from Sunny Point to  
11 Savannah River is somewhat deceptive. Railroads don't run  
12 that way. So it will go to Charleston, South Carolina,  
13 before it goes to Savannah River, which will pique some  
14 interest there, I imagine.

15           Highway is still an option, but the local people  
16 around Sunny Point and in North Carolina and a good bit of  
17 the Congressional delegation really want it to move by rail.  
18 They're very pleased with how well the build-up for Desert  
19 Storm and those activities were carried out, and they have a  
20 lot of confidence in the rail mode for the journey to the  
21 Savannah River Site.

22           That completes the prepared part. That's the end.

23 Thank you for the opportunity to give a broad, sweeping  
24 overview, hopefully, of DOT's role. The Department, in  
25 conjunction with NRC, will be quite a bit of the regulator

1 for these movements in the transport. EPA and OSHA and the  
2 litany of other federal agencies will all have other roles,  
3 EPA especially, at the site, but that's an area you all are  
4 familiar with than I.

5           So I thank you for the opportunity. I'll try to  
6 answer any questions you might have.

7           DR. PRICE: Thank you very much, Dick. A couple of  
8 quick questions that I might ask you here, and then we'll ask  
9 some from the Board and the staff and so forth.

10           With respect to the definition of first shipments,  
11 in a prolonged campaign such as spent nuclear fuel might be  
12 over many, many years, how is a first shipment defined?

13           MR. HANNON: Well, historically, it's a term that's been  
14 used with Three-Mile Island shipments and the recent  
15 shipments that Carolina Power has. They have never been this  
16 long by rail. So the policy--I'm speaking for Federal Rail  
17 right now, but I'm sure the policy will be to perform the  
18 inspections necessary to maintain the integrity of the crew,  
19 the right-of-way and the various equipment that is used.

20           DR. PRICE: So there could be periodic inspections  
21 because--

22           MR. HANNON: There would be.

23           DR. PRICE: --of the long term?

24           MR. HANNON: Yeah, there would be. And as I indicated,  
25 right now, if a route is selected, the review is at least

1 every six months. We haven't had any real long-term  
2 campaigns other than Three-Mile Island where it did last over  
3 a year. So there were the recurrent reinspections. There's  
4 inspection of the equipment prior to every shipment.

5 DR. PRICE: And you mentioned time in transport as being  
6 one of the principal criteria. Would you like to comment on  
7 population risk and the use of GIS and other things that you  
8 see that might bear on more of a risk base and route-specific  
9 approach to things?

10 MR. HANNON: As you'll see in the Mode and Route Study,  
11 these are the factors, like risk assessment, type of  
12 population potentially exposed, and environmental wetlands,  
13 and specific environmental considerations, are all being  
14 considered. There are probably eight main factors that seem  
15 to coalesce. There was an advisory group that was convened  
16 both for the Mode and Route Study as well as the Dedicated  
17 Train Study, trying to get on the table in a single document  
18 what are the factors that really are important. And  
19 population, how and where it's located, even the time of day  
20 is going to be a factor of where people are at what time of  
21 the day and who they are.

22 The slam I had on DOE about how the cask is the  
23 answer, in many ways it is, but I don't want to not consider  
24 mode selection and route selection. And I think that's where  
25 these other factors will prevail.

1 DR. PRICE: And accident-specific data, for example, the  
2 avoidance of peculiarly sensitive intersections or areas of  
3 interstate where they have bad records and bad experience, is  
4 that in the Mode and Route Study as well?

5 MR. HANNON: Yes, yes, in both the studies. And in the  
6 Three-Mile Island study that was conducted, we looked at the  
7 --you know, sometimes they're gross numbers, what are  
8 accident histories of a mode or route, but it's something  
9 that can be refined. The difficulty we have is what weight  
10 do you give to which one and what are really the  
11 determinants? So it's an area for additional research.

12 DR. PRICE: So I take your answer--and I'm going to get  
13 to you in a minute, Clarence--to indicate that GIS and route-  
14 specific risk based is probably what is forthcoming.

15 MR. HANNON: Yes. In conjunction with another one of  
16 our goals, the Secretary's goals, is global positioning  
17 systems. And the goal of the Department is to make that the  
18 world standard for positioning. So there are activities in  
19 tracking and specifically knowing where materials are. We  
20 are encouraged to do this, but we have not, in rulemaking,  
21 required that.

22 There was a very comprehensive study by the  
23 National Academy of Sciences about two years ago now that did  
24 look at the tracking element of hazardous materials, knowing  
25 where things are. But when we deal with numbers like 500,000

1 shipments a day, which really could be 1.5 million when you  
2 look at the loads and offloads and so forth, it gets to be a  
3 very, very complex, and in some ways unnecessary, problem.

4           But there are certain materials, some of the  
5 poisons, rocket fuels in particular, where escorts--while we  
6 don't require it, we put in language in their exemption that  
7 in effect the only way they can satisfy is to escort the  
8 material and know where it is.

9           DR. PRICE: And do you have a feeling about escorts with  
10 respect to spent nuclear fuel, then?

11           MR. HANNON: I think the position so far is that they're  
12 in the way. We don't require escorts. We look at  
13 radioactive material almost like its another hazardous  
14 material, and we don't require escorts for other materials.  
15 That is the position now, and it could change. NRC requires  
16 escorts in certain areas, and we don't prohibit them, but we  
17 don't require them.

18           DR. PRICE: Dr. Allen of the Board.

19           DR. ALLEN: Yes, in your discussion of the Mode and  
20 Route Study, you made a statement that you wouldn't want to  
21 do anything that might be in conflict with--and I quote you  
22 directly--"our good friends at the Office of Civilian  
23 Radioactive Waste Management." Doesn't this relationship  
24 give some reason for the public to be skeptical of your role  
25 as a regulator?

1           MR. HANNON: I think it's pretty well spelled out in the  
2 MOU that yeah, we have clearly defined responsibilities, and  
3 the Congress has given the Department of Energy the  
4 responsibility to come up with a transportation plan.  
5 They've given us the broad authority to have in effect, have  
6 in place, a scheme of regulation. We will regulate them. In  
7 many ways, a Fed is a Fed, but we feel comfortable that there  
8 is a clear line between getting too friendly. That was  
9 somewhat of a backhand compliment to the people of DOE being  
10 given a test. It's very awesome. And we do know our lines  
11 of division.

12           DR. PRICE: Dr. Cantlon?

13           DR. CANTLON: One of the problems in this whole area of  
14 nuclear waste has been the perceptual problem, perceptions  
15 of risk. We have encouraged in the Board's activity that DOE  
16 use more external peer review of its decisions rather than  
17 its very competent in-house and long-term contractor things.  
18 Does DOT have a similar kind of external expert  
19 credentialing of its major decisions?

20           MR. HANNON: The process we go through is a very open, a  
21 very public process through rulemaking, with notices in the  
22 Federal Register, which is an open process. We have starting  
23 with an advanced notice of a proposed rule, which is just  
24 almost seeking information. Then we step to the notice of a  
25 proposed rule. And that's a clear indication of where the

1 Department is headed in a rule. And there are lots of  
2 comments along the way.

3           The HM-164 docket had something on the order of  
4 1,800 comments. Eight public hearings. We do go on the  
5 road, and we do listen. We are required to address all  
6 comments. We don't have to accept them all, but we have to  
7 address them all in our deliberations. And the review  
8 process is, that's our peer review, is the public. It's not  
9 as much bringing in, you know, technical talent that way. We  
10 will use contractors, as we have used in some of the studies.

11           The Battelle Corporation led a team for the Mode  
12 and Route Study. As I indicated, the Dedicated Train was  
13 done more in-house and tapped external parties.

14         DR. CANTLON: But you make many decisions affecting  
15 safety that are not formal rulemaking decisions on what is a  
16 hazardous material, that sort of thing, and I guess I'm  
17 really trying to look down inside your process, short of the  
18 formal rule process, which is somewhat more open.

19         MR. HANNON: Well, the classification of a material is  
20 an open process. I mean, there's lots of debate now about  
21 sanitary food. And some of the materials that are fairly  
22 well used and recognized in normal commerce could be  
23 considered a hazardous material under some laws. So the  
24 whole body of regulation, from classifying, packaging,  
25 communicating the risk, is an open process, and the formal

1 peer review in an academic setting is something that we have  
2 not availed ourself much of. The National Academy of Science  
3 is a recent example, where they were charged to conduct a  
4 study and, through the NAS process, entered into a peer  
5 review. But it's not a process we normally use. We use the  
6 full open public discussion.

7 DR. CANTLON: Second question, Sweden and Japan, for  
8 instance, have relied almost entirely on marine routing for  
9 moving their nuclear materials. In this country, that's a  
10 virtually unused mode. So many of our reactors are in high-  
11 population corridors along the East Coast and so on. Has any  
12 thought been given to exploring the marine transportation of  
13 spent fuel to avoid some of those tough corridor problems?

14 MR. HANNON: Well, again, the Department feels there is  
15 a body of regulation in place to use it. The mode of choice  
16 is a decision that's made by the shipper. It's not done in  
17 isolation, obviously. But it's a shipper decision in  
18 conjunction with the carrier and the states and localities  
19 that it will go through.

20 Marine does seem to have--Japan has the option of  
21 sending it to England. Our options are Puerto Rico, the  
22 Mariannas and Hawaii. We don't have those same options in  
23 that sense. But marine has been used now with the movement  
24 of fairly--not spent fuel, but barely used fuel out of the  
25 shoring facility. It did use deep water barging out Long

1 Island Sound, down the ocean, up Delaware Bay and put on a  
2 railroad. So that may have been the path of least  
3 resistance.

4 We would have not required that. If we had been  
5 asked to rule, we probably would have said take it over, put  
6 it on a truck and minimize the time in transit. You'll be  
7 there in no time. But that was a shipper/carrier decision.  
8 There had been an arrangement made with the city, they  
9 thought. As soon as the papers got a hold of it, that option  
10 no longer became available. So, they wanted to move it, they  
11 made a choice. We would not have required it.

12 DR. PRICE: Dr. Langmuir, Board?

13 DR. LANGMUIR: I'd like to bring you back to Overhead  
14 10, or if you can recall, the overhead titled "Hazardous  
15 Materials Incidents by Hazard Class." I want to make sure I  
16 understood correctly what you said. My understanding was,  
17 and please correct me, that you have essentially three  
18 million shipments a year of radioactive material?

19 MR. HANNON: Yes.

20 DR. LANGMUIR: And of that three million, we had eight  
21 incidents in '93. And of those, seven were pharmaceuticals  
22 by--

23 MR. HANNON: I think all--

24 DR. LANGMUIR: --by aircraft or--

25 MR. HANNON: I think all eight were

1 radiopharmaceuticals.

2 DR. LANGMUIR: Okay, all eight were

3 radiopharmaceuticals.

4 MR. HANNON: Seven of the eight were by air. That list

5 of about 13,000 incidents are those incidents reported.

6 There's a reporting requirement. There's obviously some

7 controversy, does everybody report? The answer is probably

8 no, not everyone reports. But it's been a consistent measure

9 over time of reporting.

10 DR. LANGMUIR: What percentage of transportation of

11 these materials is by air versus by land, shipments by truck

12 or by train?

13 MR. HANNON: Of the three million?

14 DR. LANGMUIR: Yeah.

15 MR. HANNON: I could provide that number.

16 DR. LANGMUIR: I'm just curious what our track record

17 is.

18 MR. HANNON: A lot of it's by air, because it's

19 radiopharmaceuticals with fairly short life--

20 DR. LANGMUIR: They're small shipments.

21 MR. HANNON: Yes.

22 DR. PRICE: Dennis Price. Don brings up an interesting

23 point. What you show us here are actual numbers, but not

24 adjusted for risk by exposure. And to understand risk, we

25 need miles of exposure or something like that. How would

1 these radioactive material shipments compare with, for  
2 example, flammable, combustible liquid in terms of miles of  
3 exposure, adjusted risk? That's a tough question to throw at  
4 you on the spot, but maybe you could give us a ball park kind  
5 of feel for it.

6 DR. LANGMUIR: And my question was, have there been any  
7 fatalities associated with these?

8 MR. HANNON: No. In the movement of spent fuels in the  
9 40-plus years of moving it, there has never been a death or  
10 serious injury attributed to the material.

11 DR. ALLEN: Does that include military shipments?

12 MR. HANNON: I believe so.

13 DR. PRICE: I want to follow up on what was just said  
14 about fatalities. With respect to the eleven or twelve  
15 fatalities you said in their recent history, how many of  
16 those were due to the release of the hazardous materials  
17 themselves as compared to the accident event?

18 MR. HANNON: Okay, point of clarification. These are  
19 all due to the hazardous materials. So if a gasoline truck  
20 runs into a bridge abutment and the driver dies of the trauma  
21 associated with hitting a bridge, that's not a hazardous  
22 material accident. We review all deaths--I have to. Great  
23 night reading. But I have to read the medical examiners'  
24 reports, the autopsies, to confirm whether it was a death due  
25 to the blunt force trauma of an accident or whether it was

1 due to asphyxiation or fire or something like that. So these  
2 deaths and injuries are due to the hazardous material, the  
3 release of the hazardous material.

4           And of this 13,000 number, the number in many ways  
5 that we ought to be considering is something in the order of  
6 300 or 400. These are significant incidents. The 13,000 are  
7 essentially leaks. It's an unintentional release of a  
8 material to the environment. So if you looked at these,  
9 United Parcel Service accounts for about a quarter of all  
10 reported incidents, and they don't carry large amounts of  
11 materials. They carry a lot of it, but they don't carry  
12 large quantities. So these are basically packages that are  
13 broken in transport, dropped, crushed, whatever.

14           DR. PRICE: Other questions from the Board?

15           (No response.)

16           The staff?

17           DR. CHU: This is Woody Chu on the staff. I just have  
18 one question on the preemption item that you brought up. You  
19 mentioned that about two-thirds of all the inconsistency  
20 rulings were attributed to shipments of radioactive  
21 materials. Can you elaborate on some of the dimensions, i.e.  
22 like what is the split between the federal and state in terms  
23 of who prevailed and so on?

24           MR. HANNON: We have a good batting average. Most of  
25 the rulings have been the Department's position has

1 prevailed. And these have been challenged in court. But the  
2 mandate came back out of legislation that gave the broad  
3 authority to regulate in this area. And as I said, the DOT  
4 and the NRC have pretty well occupied the whole area of  
5 regulating radioactive materials in transportation.

6           Most of the issues that were associated with the  
7 inconsistencies probably centered around routing and the  
8 banning of movements. You can ban a hazardous material from  
9 some tunnels or from areas. You can't discriminate against  
10 radioactive materials. If you want to stop everything going  
11 there, that's legal, but if you say everything, all the  
12 poisons, all the flammables, all the corrosives can use a  
13 certain route, everybody except radioactive materials, that's  
14 considered inconsistent with the national scheme and  
15 preempted by federal regulation.

16           DR. CANTLON: Last question from Dr. Langmuir. He  
17 usually gets the last word.

18           DR. LANGMUIR: This is just a follow up on our  
19 discussion of the Overhead #10. Of the eight accidents  
20 involving radioactive material, were those all leaks, or some  
21 more significant than that, or were some of them not even  
22 leaks?

23           MR. HANNON: I think they were all minor leaks.

24           DR. LANGMUIR: All minor leaks.

25           MR. HANNON: Yes. There is something I can provide to

1 the Board. It was prepared by Sandia, which shows the  
2 history of incidents involving Type B packages since 1971  
3 through 1992. These would not be all spent fuel packages,  
4 they would be radiographic sources and things like that.

5           There has been a Type B package that has failed.  
6 It was in 1988 in Texas, Dallas or Houston. It wasn't a  
7 failure of the package of itself, but it's a thing we see a  
8 lot of. It was a human failure to properly enclose the  
9 material. And there are those kinds of incidents. Nobody  
10 was injured, but it does create quite a bit of concern.

11         DR. PRICE: I think that's a good note to end on, since  
12 one of my hobby horses is human error with respect to this,  
13 and our Virginia Tech study indicated that that also is not  
14 mine, but a lot of other people's major concern in the  
15 transportation of spent fuel.

16           Thank you very much for coming and being with us  
17 this morning.

18         MR. HANNON: Okay, thank you.

19         DR. PRICE: We'll take a fifteen-minute break.)

20           (Whereupon, a break was taken.)

21         DR. PRICE: All right, ladies and gentlemen, the next  
22 speaker is Jim Carlson. He previously has been the Director  
23 of Transportation and Logistics for the Department of Energy.  
24 He is now the Director of Systems Engineering. But he comes  
25 to us today bringing some continuity by tapping on his

1 previous position. And, Jim, are you here? And we would  
2 like to have you begin.

3 MR. CARLSON: Thank you, Dr. Price. I'll start off by  
4 saying it's a pleasure to have an opportunity to brief the  
5 full Board on our transportation program. We've had several  
6 meetings with the Transportation & Systems Panel.

7 Just as Dr. Cantlon introduced Dr. Price in the  
8 interest of continuity, I'm appearing here today in the  
9 interest of continuity. My new job is not the Director of  
10 the--was the Transportation Logistics Division. It's now the  
11 Systems Engineering Division. So I assume I'll get to meet  
12 the panel in another area probably in the near future.

13 The other thing is I think both Dick Hannon's and  
14 Mr. Stallings' remarks on perception and the regulatory  
15 background are probably a good taking off place on what I was  
16 hoping to cover and what we plan to try to address today  
17 during the session on transportation.

18 I think I'll be providing a general overview of the  
19 transportation program. It's a very broad program. A little  
20 description of the program, and then some of my perspective  
21 on transportation safety and what the Civilian Radioactive  
22 Waste Program is doing in this area. Then talk about its  
23 relationship to the proposed program approach, the  
24 relationship to the safety goals that Sam Rousso mentioned  
25 yesterday are the program goals, strategic goals, the new

1 organization and how we do business.

2           To try to give a reasonable handle on the breadth  
3 of the transportation activities within the Civilian  
4 Radioactive Waste Program, we're to develop a transportation  
5 system to allow the safe and environmentally acceptable  
6 capability to transport is available. We are working to  
7 create a predictable institutional environment with  
8 potentially effective parties or groups who are interested in  
9 transportation to insure that we can move without a lot of  
10 litigation or problems on the route, to have the affected  
11 parties feel comfortable with the approach we're taking.

12           And we plan to do this on a schedule that will  
13 support when we need to do it. We're a little like the MRS  
14 facility, when there's a site identified, we're going to have  
15 to move very fast to get things in place. Until then, we're  
16 competing for resources with the other principal objectives  
17 of the program, particularly the characterization of Yucca  
18 Mountain. And the resources are being directed to get on  
19 with that activity. So we are more of a support within the  
20 program, and we do compete with regard to the other  
21 priorities.

22           Transportation of spent fuel has been going on in  
23 this country and throughout the world for the past 40 years.  
24 It has been an extremely safe endeavor. The record, I  
25 think, as Dick Hannon indicated, is that there have not been

1 any significant injuries or deaths associated with the  
2 radioactive nature of the cargo. There have been thousands  
3 of shipments.

4           The shipments are made in what are called Type B  
5 packages, which are packages that are certified for the  
6 movement of spent fuel and high-level waste, or materials  
7 above a specific curie content. The package designs are  
8 regulated by the NRC. The record has been very good. It is  
9 a very highly regulated endeavor.

10           Our specific activities within the program, we have  
11 to provide for the equipment to move the materials from their  
12 storage locations to the federal facilities. The shipping  
13 containers need to be compatible with the sites where we're  
14 picking up the materials with the materials that are to be  
15 shipped, which in this case we're focusing at this time on  
16 commercial spent fuel and the specific facilities.

17           The breakdown in responsibilities at the reactor  
18 sites: The reactor operator or owner, or as we call them,  
19 the purchaser under the contracts for the disposal of spent  
20 fuel, is responsibility for designating the shipping cask  
21 that they want us to provide them, the mode, whether it be  
22 rail compatible or a truck mode. And they are responsible  
23 for loading that container at their facility. The federal  
24 government is responsible for providing the procedures, any  
25 special equipment that's needed. I think if there's any on-

1 site maintenance that needs to be done, it is done by the  
2 utility. Large maintenance jobs, of course, belong to the  
3 federal government.

4           Another I think very important area of the program  
5 that--well, let me first say that we're going to get  
6 additional briefings on the equipment development activities.  
7 Bill Lake and a number of our key contractors who are  
8 supporting the equipment development are going to brief you  
9 on the casks that we have under development, the multipurpose  
10 canister shipping container, shipping package, the efforts in  
11 the area of burnup credit, which is a mechanism to take into  
12 account the fact that it is spent fuel that we're  
13 transporting in the design of the casks, later in the day.

14           Institutional issues, I think as everyone has said,  
15 perception and views on radioactive waste do affect the  
16 program. Dick Hannon expressed it very well. We have  
17 attempted since the beginning of this program--I think we had  
18 some very farsighted individuals early on--to establish a  
19 network of groups, regional groups, with state  
20 representatives who are associated with radioactive materials  
21 activities within their states, to help us develop our policy  
22 with regard to how we're going to operate the transportation  
23 system. We also have a number of other external mechanisms  
24 that we've been using to try to gain insights at the broader  
25 public concerns, and to try to influence the policy

1 development within the Department to address these issues.  
2 Susan Smith will talk more on that a little later today.

3           The actual operations of the system is another key  
4 area. I think it's an area that Dennis has expressed a lot  
5 of interest with his interest in system safety and human  
6 factors, is we need to make sure that we're operating the  
7 system safely, that we have all of the procedures in place  
8 that insure safe operation. We're going to need contracts  
9 with various service organizations.

10           The actual number of shipments is not as daunting  
11 as a number of people I think perceive. If we have large MPC  
12 shipping, we're looking at I think 300 to 500 cask loads per  
13 year. And if we're going by dedicated train, which by all  
14 indications will probably be the way we end up, that's  
15 probably 50 to 100 per year. So we're talking one or two a  
16 week of five-car trains moving to a receipt facility. It's  
17 not this awesome picture of a train of radioactive waste  
18 moving down every railroad. Truck shipments will probably be  
19 150 or so per year if our high-efficiency casks are utilized.

20           The fourth area that I find generally useful as  
21 sort of a catchall in the transportation program has been the  
22 development of the analytical models to allow us to do the  
23 long-term planning and to support the NEPA process, the EIS  
24 process. This is an area where we have been doing some GIS  
25 work to put ourselves a little bit on the cutting edge of

1 having the tools available so we can address some of the  
2 newer factors that people would like to see us consider in  
3 how we do proceed in this program.

4           This one I sort of hesitate to put up after the  
5 comments on what DOE submitted in the Route and Mode Study,  
6 but it's been something--I've been three years in the  
7 transportation program, and basically what I've found is in  
8 the development of the international standards and the  
9 international consensus on how to move spent fuel and high-  
10 level materials, I think there's a recognition that you can  
11 do a lot to reduce the likelihood of accidents, but you  
12 cannot eliminate the possibility of your package being  
13 involved in an accident. So the regulatory philosophy has  
14 been to insure a very robust package design.

15           Dick Hannon touched on the three areas they look  
16 upon. You adequately shield it to maintain external  
17 radiation doses within the limits. I believe it's 200 MR  
18 surface and 10 MR at two meters from the surface, where the  
19 personnel boundary would be. You also need to insure that  
20 the materials are contained, you don't have a release of  
21 radioactive materials under accident conditions. And NRC has  
22 developed, or the International Atomic Energy Agency and NRC  
23 as the one who's responsible for this regulation in this  
24 nation, a requirement that your cask design be able to  
25 demonstrate that it can survive a sequence of hypothetical

1 design conditions. These include a nine-meter drop onto an  
2 unyielding surface, a drop onto a six-inch spike--I believe  
3 that's a four-meter drop--a fire and engulfing fire at 800°C  
4 for a half an hour, and submersion in I believe it's two  
5 meters of water. I'm not sure the time period on that. In  
6 this case, the material also has to be a ductile material and  
7 it has to survive this without moving into a plastic regime.  
8 These are the design requirements. There also is a great  
9 deal of additional strength incorporated within the design in  
10 order that it can survive a broad spectrum of potential  
11 conditions it might encounter.

12           And the last point is it does need to insure that  
13 the materials within the container remain subcritical under  
14 normal and accident conditions. So it is an extremely robust  
15 container, and this is what our designs need to meet.

16           We also proceed on a number of items which enhance  
17 safety or add to this. I think as an operating philosophy we  
18 would like to limit the number of shipments. This has good  
19 side effects. I mean, economics, it makes sense. Given the  
20 public sensitivity, political sensitivity, to the movement of  
21 this material, the fewer shipments you make, probably the  
22 easier it will be to operate the system.

23           So we've looked to increasing the efficiency of the  
24 packages. The current generation of shipping casks were  
25 developed to ship fuel for reprocessing. They were looking

1 at fuel that was maybe six months cool. So at a very high  
2 heat source, very high radiation source. Our contracts with  
3 the utilities talk about a minimum cooling time of five  
4 years.

5           So we're able to basically design with less  
6 shielding, use higher strength material, since the bulk of  
7 the container on the earlier designs, or a lot of it, was  
8 shielding material. We're able to meet our weight  
9 restrictions, which are either for highway travel tied to  
10 legal weight transport or for rail, basically what the  
11 bridges and the general infrastructure will handle. And they  
12 tend to be limited by the capacities of the cranes and the  
13 internal configurations at the reactor sites. We can  
14 maximize our capacities within those constraints.

15           We also have looked to ship by rail wherever  
16 feasible. As I said earlier, the mode selection is something  
17 that the utilities make under the contract, but it is a  
18 negotiation process. We expect to try and work with them to  
19 come up with the most efficient transportation system.  
20 Certainly I anticipate that if the MPC program is successful,  
21 we will see a lot of the utilities going to the MPC for  
22 storage, and they themselves will be addressing the issues of  
23 how we'll be able to move these large containers off-site for  
24 shipment to the repository.

25           The Nuclear Waste Policy Amendments Act required

1 the Department to put in place a program to provide funds and  
2 technical assistance to states for local governments and  
3 Indian tribes to insure safe routine transportation--or I  
4 guess it's for training--insure safe routine transportation  
5 and emergency preparedness. This is Section 180(c) that's  
6 referenced there.

7           We're working the emergency preparedness aspects.  
8 It's going to be tough to get through it in five minutes, but  
9 I'll try to go through it a little faster, since a lot of  
10 this will be covered. The states have the responsibility for  
11 taking care of their residents under emergencies. So they  
12 have a great deal of interest in emergency preparedness and  
13 in routing, since they can focus their efforts. So we've  
14 initiated efforts to develop through a very interactive  
15 process with state people and other affected parties both the  
16 180(c) strategy and the 180(c) policy.

17           We are working on developing a routing policy to  
18 help us, specifically routing within the general guidelines  
19 of DOT's routes, so we can address what factors are  
20 determined to be important. And this, again, is a process  
21 that we're working with affected parties. We've developed an  
22 enhanced inspection program which will be talked about later  
23 today. We have a tractor/trailer development and testing  
24 program going on, which T.C. Smith will talk about. Driver  
25 qualification.

1           We also are looking at using tracking similar to  
2 what Dick Hannon was talking about, but our shipments are a  
3 lot fewer, so we can look at using TRANSCOM to give us a  
4 location of every shipment while it's on the road.

5           The Proposed Program Approach is primarily key  
6 impact on the transportation system as we're looking at the  
7 development of the MPC as a key transport component. Right  
8 now, as with the MRS program, until we have an MRS site, our  
9 focus is on shipping to the repository. Casks and canisters  
10 in the MPC system will be two sizes for rail, 75- and 125-  
11 ton.

12           The schedule for procuring these services again is  
13 tied to when the need is, and we will plan to make these  
14 decisions on routing and 180(c) early enough to allow the  
15 affected parties to do the kind of planning they need to.

16           This schedule, I think the transportation line  
17 indicates pretty much what I just said, will be focusing on  
18 the MPC work and getting the legal weight truck through  
19 certification in the next couple years. We have a continuing  
20 external interaction with the various groups that we've been  
21 working with. The actual operations planning will proceed,  
22 and getting the contracts in place before shipments.

23           Skip the next two in the interest of time. I won't  
24 relate the program to the strategic goals at this point.

25           The new organization, you met Sam Rousso yesterday

1 in the opening remarks. His deputy is Dwight Shelor, who has  
2 been here the last two days. I don't see Dwight right now.  
3 Oh, there he is, he's got his hand up in the back.

4           There will be three divisions in the waste  
5 acceptance. Alan Brownstein, who's been handling the  
6 contracts with the utilities for a number of years, will  
7 continue in that capacity in working the Waste Acceptance  
8 Division. Linda Desell, who should join us this afternoon,  
9 is actually over at a Transportation External Coordination  
10 Group in another part of Denver this morning, and will be  
11 joining us here this afternoon. She'll be looking at the  
12 need for compliance. The equipment development activities  
13 will be under the direct supervision of Jeff Williams, who  
14 has been doing the facilities work for the MRS activities.

15           And finally, the folks who are actually out there  
16 implementing the program. Up until the M&O came on board, we  
17 worked through two field offices. Currently, the program is  
18 implemented through the OCRWM M&O organization. We do have  
19 the national labs involved in various aspects. Los Alamos in  
20 the burnup credit area. Argonne National Lab supports our  
21 risk assessment and EIS work. Sandia provides us support in  
22 the burnup credit and general transportation issues. Oak  
23 Ridge in the burnup credit area and in the nuclear design of  
24 casks.

25           The cask designers are contracted currently with

1 the Department. Cooperative agreement groups, as other  
2 government organizations, we have funding for them directly  
3 through the Department. And we have WESTON, our technical  
4 support contractor, who actually should have dotted lines, I  
5 think, to every one of those functions.

6 I'm sorry to run so long, but I wanted to try to  
7 give you as much as I could. I'd be happy to answer  
8 questions in my remaining ten seconds.

9 DR. PRICE: Thank you. Are there any ten-second  
10 pressing questions? If not, I think we'll just proceed on.

11 MR. CARLSON: Okay.

12 DR. PRICE: Thank you very much, and our next speaker is  
13 Steven Gomberg of the Department of Energy.

14 MR. GOMBERG: Thank you. It's a pleasure to be here  
15 before the Board to give a presentation on the planning of  
16 the transportation program. As Jim told you, my title up  
17 there is no longer the current title. We should have had  
18 that stricken from the slides, but timing is everything.

19 What I want to do is primarily talk about the  
20 transportation plan and the planning and some of the details  
21 that are in the plan. And by way of an overview, I'll try to  
22 talk about, very shortly, a background on spent fuel  
23 transportation. Try not to duplicate what some of the other  
24 people have said. Then I'll discuss the preliminary  
25 transportation plan that we've issued and talk about some of

1 the specific topics that are covered in the plan, including  
2 contingency plans, our systems engineering approach to system  
3 development, equipment acquisition, operational system  
4 development and institutional activities.

5           In a nutshell, the mission of the OCRWM  
6 transportation program is to transport spent fuel from  
7 reactors or storage sites into RW facilities. If an MRS is  
8 available, we would ship fuel from the MRS to a repository.  
9 In any case, we would ship high-level waste from the producer  
10 sites directly to the repository, and if needed, we would  
11 potentially transport waste from the repository to some other  
12 storage location. For example, would be in the event that we  
13 needed to retrieve waste for some reason.

14           Now, some of our key principles in the development  
15 and transportation program are to protect public health and  
16 safety, to provide for public participation in our decision-  
17 making activities, to use private industry to the fullest  
18 extent possible, and to develop a cost-effective system.

19           Now, as Dick Hannon and others have talked about,  
20 spent fuel shipping is not new. It's been going on for many  
21 years now, and there's a great deal of experience within DOE  
22 and private industry in shipping spent fuel. We may have a  
23 slight subtlety on definition, what I consider the latest  
24 example of shipments were the 35 shipments of mildly reactor  
25 radiated spent fuel from the Shoreham plant to Limerick

1 without incident. That went by heavy haul, then by barge,  
2 then by rail up into the Limerick plant, and the rough time  
3 frame for that was February to June of this year.

4 Now, in addition, the Nuclear Waste Policy Act and  
5 the amendments put certain responsibilities on the Department  
6 for transportation. Those include the use of private  
7 industry. Those include NRC regulations and oversight,  
8 primarily for the certification of casks, and for funding and  
9 training assistance for public safety officials for safe  
10 routine transport and for emergency planning.

11 Now, before we issue the transportation plan, we  
12 have had some planning documents out on the street. Those  
13 date back from 1986. The Transportation Business Plan was  
14 issued in January of 1986. That discussed our plans for  
15 acquiring cask systems, and the cask fleet, and for setting  
16 up an operational system. In addition, there was a  
17 Transportation Institutional Plan issued in August of 1986,  
18 and that addressed the institutional network that we had  
19 developed and the processes for resolving some of the key  
20 transportation issues.

21 Okay, now, as an update to the Business and  
22 Institutional Plans, we issued a Transportation Plan, and  
23 this provides an overview of the transportation system as  
24 it's currently envisioned. It incorporates the Proposed  
25 Program Approach and the realignment of RW as Jim has

1 discussed. This will replace the Business Plan and the  
2 Institutional Plan. And we've issued a preliminary draft in  
3 June of this year at the Transportation Coordination Group  
4 meeting. We've asked for comments by October 1994. We hope  
5 that this will be a "living document." It will be  
6 periodically updated to reflect the planning of the  
7 transportation program.

8           One of the important aspects of the planning  
9 document is contingency planning. Currently, and I'll  
10 clarify this later when I show the schedule, we have the  
11 program as on schedule to provide for a limited  
12 transportation capability by the year 2000.

13           We've looked at other approaches in the event that  
14 we need to meet earlier dates than that, and those include  
15 using some existing NRC approved casks. The NAC-LWT is an  
16 example of that type of cask that could be used. Or issuing  
17 an RFP for current technology casks, those casks that exist  
18 right now that have some level of certification by the NRC.  
19 They may need some redesign or other activity to be usable by  
20 the broad range of fuel types that we expect within our  
21 program. We have put together a draft RFP, but that's on  
22 hold now, pending identification of a monitored retrieval  
23 storage site.

24           In addition, there is an existing operational  
25 structure within the Department, the DOE traffic management

1 system. It is very well developed. And there are other DOE  
2 resources that we could use for such things as routing,  
3 control, communications, emergency response capability and  
4 training.

5           Now, we use systems engineering to integrate the  
6 design and development of the operating transportation system  
7 to insure that all requirements that apply to transportation  
8 are met. The top-level document within the program is the  
9 Civilian Radioactive Waste Management System requirements  
10 document. That is issued, and that document basically  
11 allocates functions and requirements applicable to all of  
12 OCRWM, specifically to the transportation system.

13           The next level document is the transportation  
14 system requirements document that is also issued. And that  
15 provides the functions necessary for transporting spent fuel  
16 and allocates requirements to four transportation segments,  
17 which I'll talk about on the next slide.

18           Below the transportation system requirements  
19 documents would be--and these are not developed right now--  
20 the design requirement documents, which provide the detailed  
21 design engineering requirements for a specific segment or a  
22 specific piece of equipment or facility of the system.

23           Managing Interface is very important, and we would  
24 use interface control documents to identify the interface  
25 requirements both across the program developments--that would

1 be waste acceptance, transportation, storage and disposal--  
2 and between the four segments that comprise the  
3 transportation system.

4           And then finally, we would issue transportation  
5 design packages for the specific configuration item designs.

6 We have one of those out right now for the General Atomics-4  
7 and the General Atomics-9 cask.

8           Finally, to allow us to focus the design  
9 requirements on design documents and the operational  
10 requirements in operational documents, we're developing a  
11 Transportation System Operations Plan, and that pretty much  
12 provides the detailed concept of operations, and then  
13 identifies how those requirements on the operational side of  
14 the transportation system will be allocated and addressed  
15 through procedures, policies, whatever else we need to  
16 operate the system.

17           Now, I've been talking about the four segments. As  
18 a result of the functional analysis that was done to support  
19 the development of the transportation system requirements  
20 document, four segments were identified for the  
21 transportation system. The transportation cask subsystems is  
22 that segment that develops and fabricates the cask fleet,  
23 including any supporting equipment--transporters, cars,  
24 trailers, lifting equipment, and whatever else. The planning  
25 and control segment provides the day-to-day management of the

1 transportation system, the long-range planning, through  
2 campaign planning and execution of the campaign plans. The  
3 service and maintenance support segment is the personnel,  
4 facilities and equipment for providing cask maintenance,  
5 inspection and repairs, among other things. Field operations  
6 segment are those personnel facilities and equipments that  
7 provide support to the utilities and other storage facilities  
8 for receipt, handling, loading, shipping, preparation and  
9 transportation casks.

10           Now, driving the current planning assumptions,  
11 primarily through the Proposed Program Approach, I've  
12 identified five general assumptions that have driven our  
13 plans. Basically, the system is comprised of equipment,  
14 facilities and organizations required to ship spent fuel, and  
15 the primary emphasis is supporting the Proposed Program  
16 Approach milestones that were established.

17           All surface modes will be considered: rail, barge  
18 and highway, or intermodal transportation, which is a  
19 combination of one or more of those. The majority of spent  
20 fuel right now we plan will be shipped by rail in  
21 multipurpose canisters, but there are about nineteen, and I  
22 understand that number is changing every day, it may be less.

23       About nineteen reactors that would be able to handle the  
24 smaller truck casks. And so that's the primary work horses  
25 of our fleet would be those two casks. In addition, high-

1 level waste would be shipped exclusively by rail. And those  
2 are currently from three producer sites, Savannah River, West  
3 Valley and Hanford, and we would pick up more as appropriate.

4 I wanted to focus on four things in the schedule.  
5 And this schedule, now, is developed for the Proposed Program  
6 Approach. But I wanted to show how in the event of  
7 contingencies that there are some things that we could use to  
8 accelerate the processes. The first one I wanted to point  
9 out is that the way we put together these milestones is a  
10 little different from the segments I have discussed. These  
11 focus more on activities. We have the cask development  
12 activities, the operational system activities and the  
13 institutional activities.

14 As you can see, and it's probably pretty small, but  
15 generally the MPC, the development of a prototype and the  
16 ability to have a fabricatable design is in around the FY  
17 1999 to 2000. Similarly, for the GA-4 and 9 casks, it's  
18 approximately in FY 1999 that we would be able to begin  
19 fabrication. And so that's why I use the 2000 dates in the  
20 contingency planning.

21 What we've done is basically, after we develop a  
22 prototype to determine that a cask design is fabricable, in a  
23 sense, in order to support the OCRWM facilities, which  
24 currently is a repository, you can see that the plan sort of  
25 defers the actual fleet fabrication for several years.

1 That's an example of a way that you can accelerate it to meet  
2 a contingency in the event that we need to ship sooner.

3           Also, I wanted to point out that the development of  
4 the operational transportation system and the institutional  
5 interactions did not begin in 1993 as is pointed here.  
6 They've been going on longer than most people have been in  
7 the transportation program.

8           And finally, under one of our biggest institutional  
9 areas is the NWPA Section 180(c) Training and Funding  
10 Technical Assistance Program. Based on the Proposed Program  
11 Approach, this schedule is set up to meet a date when we  
12 would start shipping. And then it's backed out based on a  
13 commitment we had made to try to provide three to five years  
14 of advanced funding before shipments begin.

15           So I just wanted to focus on those things, show you  
16 how some of the contingencies could be developed.

17           Okay, now, as part of the development activities,  
18 very quickly, I talked about the three types of activities,  
19 hardware development, the operating system development and  
20 the institutional program. The current hardware development  
21 activities right now are focused on MPC and the GA-4/9 casks.

22 Bill Lake will talk about that and introduce a series of  
23 presentations.

24           The operating system, we have developed a very  
25 preliminary concept of operations. We've identified

1 operational requirements that would be allocated to those  
2 functions. And Ron Kelly will talk a little bit more about  
3 the transportation system operations plan later on today.

4           The institutional activities are a very important  
5 part of our program. We like to take a lot of credit for the  
6 work that we've been doing. The current focus right now is  
7 to integrate these activities with other DOE programs that  
8 are currently in the forefront for radioactive material  
9 shipment, and to learn what we can from their experiences.  
10 Susan Smith will talk about the institutional activities  
11 later on today.

12           Okay, the casks that are currently being developed,  
13 are planned for development, or are being developed by groups  
14 other than DOE, which could potentially be introduced into  
15 our system for transport. Primarily, in development we have  
16 the from-reactor casks, and right now the GA-4/9 and the MPC  
17 are the two from-reactor casks that we're working with.  
18 Specialty casks are plans. Those will be any casks needed to  
19 handle any fouled fuel, any long type fuel, the South Texas  
20 fuel, or any other type of fuel that couldn't fit within a  
21 standard cask. High-level waste casks are currently planned.  
22 Right now we envision a design that would have five  
23 canisters within a rail cask. Multi-purpose canister, also  
24 the transportation overpack of that is the focus within the  
25 transportation program. And the transportable storage cask,

1 which is not being developed by RW or DOE right now, but is  
2 potentially a cask that could be introduced into the system.

3           And finally, then, the development of transporters.  
4 Tractors, trailers, rail cars, other associated things that  
5 would be needed in order to move casks.

6           The operational system development combines the  
7 planning and control, service and maintenance and field  
8 operations segments, and it identifies the functions to be  
9 performed, the structure as to how those functions would be  
10 performed. Primarily we're looking at simple things like, is  
11 this all government operated? Is there a contractor  
12 operation? To what extent do we incorporate the provision to  
13 provide public involvement to the maximum extent? Private  
14 industry to the maximum extent possible? And in addition,  
15 provide some schedule and approaches as to how we would put  
16 it all together to have an effective operating system.

17           Finally, the institutional interactions are  
18 incorporated into the planning and control segment, and those  
19 obviously provide the activities necessary to promote  
20 understanding of the program and to get the public and the  
21 stakeholders involved in the decisions that we make that  
22 ultimately affect the operation of the transportation system.

23           Very briefly, although Susan is going to talk  
24 about, I think, just about all of these, these are what I put  
25 down as some of the key problematic transportation

1 institutional issues that we have been working on. Routing  
2 you've heard about earlier. The focus there is the HM-164  
3 requirements do provide adequate control on risk for highway.  
4 There is no real risk methodology for developing rail  
5 criteria. And we would look at those sort of things. Susan  
6 will talk about that in a little more detail.

7           Section 180(c) is to provide safe transport,  
8 training and emergency planning, funding and technical  
9 assistance. The emphasis on that is on training,  
10 inspection/enforcement and on emergency response planning.

11           Risk management is one of the activities that we've  
12 been using as a result of stakeholder involvement to try to  
13 integrate all of the risk-related activities under the  
14 transportation program and to show how those would all be  
15 managed and developed in conjunction as a continuum as  
16 opposed to a one-time environmental assessment analysis or  
17 something along that line.

18           Full-scale cask testing is looking at whether we  
19 need to go beyond the currently accepted practices of  
20 designing by analysis or using scale-model tests. And that's  
21 been also an area of a lot of stakeholder interest.

22           Advance notification to Indian tribes, currently  
23 this is a DOE policy that we would provide notification to  
24 Indian tribes. It's pretty much silent in the NRC  
25 regulations. We've been working to try to clarify that, and

1 to try to integrate our DOE approaches to working with the  
2 Indian tribes under the DOE Tribal Order.

3           Inspection and enforcement, one of the things we're  
4 looking at is standardized inspection procedures for  
5 radiation to try to minimize the number of inspections, or to  
6 make sure that the inspections are standardized across all  
7 the states or Indian tribes who would perform inspections.  
8 And also we're looking at the tribal enforcement authority of  
9 our shipments.

10           Okay, with that, I'm finished, and let me open it  
11 up for any questions.

12           DR. PRICE: Thank you very much. In the area of  
13 tracking and control in the operations concept, I take it  
14 that that wasn't covered in anything you said, and I take it  
15 from what Mr. Carlson said that that is an issue that's up in  
16 the air right now as to whether or not to have continuous  
17 tracking of shipments?

18           MR. GOMBERG: Go ahead, Jim.

19           MR. CARLSON: No, I don't think it's up in the air. We  
20 will have continuous tracking. It's just the specifics  
21 haven't been pinned down. But it's been an area where we've  
22 been working on the TRANSCOM system. The area where it runs  
23 a little different than what DOT's been looking at is right  
24 now there are requirements to safeguard the location of the  
25 shipments. So our system will be a little different than the

1 broader ones.

2 DR. PRICE: Thank you, that's good clarification.

3 MR. GOMBERG: I was just going to say, TRANSCOM is a  
4 general name that we use for a tracking capability and a  
5 control capability. It provides the positioning capability,  
6 although not, from what I understand, as high resolution as  
7 GPS. And then the communications aspect, where you would  
8 relay the positioning of a cask to a central operations  
9 center of some sort to make decisions or to identify the  
10 status of the shipments in progress.

11 DR. PRICE: And do you have a date when you're going to  
12 release the transportation system's operational plan?

13 MR. GOMBERG: One of the reasons I'm a little hesitant  
14 to pick a date is because of the transition to the new  
15 organization. The plan has been put out as a preliminary  
16 draft right now. We've looked at it internally, and we  
17 suggested some improvements and changes that need to be made.  
18 So as the M&O contractor who's actually putting the document  
19 together is working on that, I suspect maybe within the next  
20 five to six months we'd probably have a version out that  
21 reflects what we want to say from the operational planning  
22 standpoint, and also is satisfactory to Jeff and Linda and  
23 the management in waste acceptance storage and  
24 transportation.

25 So, I guess, can I say can we keep you informed on

1 that, because I really don't know right now.

2 DR. PRICE: Please do.

3 MR. GOMBERG: Okay.

4 DR. PRICE: Any questions from the Board? Dan?

5 DR. FEHRINGER: Dan Fehringer, staff. Does your  
6 planning include transportation of any materials like naval  
7 reactor fuel or plutonium for dismantling weapons or greater  
8 than Class C waste, things of that sort?

9 MR. GOMBERG: I think that one of the things we're  
10 looking at right now is the timing and the acceptability of  
11 some of these additional wastes into the program, and we have  
12 not committed right now as to when or how we would accept  
13 these forms. So we're not doing any detailed transportation  
14 related planning right now in some of the exotic waste forms  
15 that may need to be disposed of in a Part 60 licensed  
16 repository. But we know those are potentially on the  
17 horizon, and when the time comes that those are accepted into  
18 the system, we would then work with the appropriate  
19 organizations. For instance, the naval reactor fuels have  
20 done a lot of transportation themselves, and we would work  
21 with them to decide who would develop what equipment and how  
22 we would integrate it into our system. But right now there's  
23 not a lot of detailed planning in the transportation area on  
24 those.

25 MR. CARLSON: Can I just add something? If I had gone

1 through my strategic goals, the second one is to participate  
2 actively in key to deliberations which affect DOE. And we do  
3 have a transportation role in participating in that activity,  
4 but as Steve says, we are not far along. It is a goal, but  
5 it hasn't reached fruition.

6 DR. PRICE: Any other questions? If not, thank you very  
7 much.

8 UNIDENTIFIED SPEAKER: Dennis?

9 DR. PRICE: Oh, wait, one more. I'm sorry, I didn't see  
10 you. Dwight Shelor?

11 MR. SHELOR: This is Dwight Shelor. Steve, if I can  
12 make a comment relative to your slide #10 on the schedule?

13 MR. GOMBERG: Yes?

14 MR. SHELOR: What I'd like to do is just point out that  
15 in the upper left-hand corner, adjacent to where it says MPC,  
16 we talk about the EIS. There is an error there that shows  
17 that activity starting in calendar year '93, where in fact,  
18 if you would refer back to Mr. Carlson's presentation, page  
19 number 10, that schedule is correct for the EIS and  
20 anticipating the NOI in calendar year '94.

21 DR. PRICE: Okay, I think we're having a little  
22 difficulty finding, Mr. Shelor, where you're talking about.  
23 Upper left-hand corner, I got that.

24 MR. GOMBERG: I think the simple answer is what this  
25 slide does not show that Jim's slide correctly shows is our

1 plan on issuing a Notice of Intent for the MPC/EIS being at  
2 the end of this calendar year.

3 DR. PRICE: Thank you. The NOI.

4 MR. GOMBERG: The Notice of Intent to prepare an EIS.

5 DR. PRICE: Thank you very much.

6 MR. GOMBERG: Okay, thank you.

7 DR. PRICE: Our next speaker, and I think we have  
8 returned to schedule, is Ronald Kelly with E.R. Johnson  
9 Associates of the M&O.

10 MR. KELLY: Thanks a lot. Good morning. Again, I am  
11 Ron Kelly, and I'm with the Transportation Department at the  
12 M&O. And during my presentation, I'm going to follow on from  
13 Steve Gomberg's presentation and I'm going to discuss how we  
14 anticipate the Civilian Radioactive Waste Management System  
15 will operate once it becomes fully operational.

16 These assumptions have been discussed in previous  
17 presentations. However, I wish to emphasize that our  
18 transportation system will be primarily focused on accepting  
19 fuel and the multipurpose canisters, and we will ship that  
20 fuel utilizing one of the two size rail casks. We'll also  
21 have available to us the legal weight truck casks if  
22 required.

23 And secondly, that our transportation work load  
24 will be determined years in advance based on the principle of  
25 oldest fuel first. And I will discuss the work load

1 determination in greater detail in a few minutes.

2           The purpose of this chart is to show the major  
3 CRWMS interfaces for transportation. On the left, the waste  
4 acceptance portion of the CRWMS determines the work load for  
5 transportation. They resolve the contractual issues between  
6 the government and the utilities on the specific amount of  
7 fuel to be moved and what year that fuel will be moved to the  
8 federal site. Close coordination will have to occur between  
9 the utilities, waste acceptance and transportation activities  
10 in the development of the final schedule. The storage  
11 activity within the CRWMS is responsible for receiving the  
12 spent fuel, unloading the casks, and then placing the fuel in  
13 the appropriate storage facility.

14           For ease of discussion, I have divided the  
15 operational transportation system into four primary elements,  
16 as shown in this chart. And this should not be matched with  
17 the system architecture that Steve had shown. This strictly  
18 reflects the position or the location which various  
19 activities will occur in the operational system.

20           Before I do that, I thought it would be beneficial  
21 to explain some key terminology that is very important in the  
22 planning of our shipping campaigns.

23           The Annual Capacity Report, or the ACR, is  
24 published each year by the Office of Civilian Radioactive  
25 Waste Management. And it looks out for a ten-year period and

1 specifies the spent fuel allocations in metric tons of  
2 uranium that a given utility is authorized to ship in a  
3 specific calendar year. The total amount of spent fuel to be  
4 accepted by the Civilian Radioactive Waste Management System  
5 in a given year is based on the acceptance capability of the  
6 total system.

7           The Delivery Commitment Schedule, or DCS, is a  
8 formal process where a utility declares that they are going  
9 to accept their spent fuel allocation for a specific year as  
10 stated in the ACR. The DCS's undergo a careful screening  
11 within the Office of Civilian Radioactive Waste Management  
12 and are formally approved or disapproved if appropriate. As  
13 you will see in a moment, the DCS is a long-range planning  
14 tool for the CRWMS.

15           However, the most important document that we have  
16 is the OCRWM approved Final Delivery Schedule, or FDS.  
17 During the period between the approval of the DCS, which is  
18 about 63 months prior to the shipping year, and the approval  
19 of the Final Delivery Schedule, about 12 to 24 months prior  
20 to the shipping year, the utilities are permitted the  
21 opportunity to trade allocations with other utilities. Once  
22 this process is completed and the FDS receives final OCRWM  
23 approval, then this document determines the specific work  
24 load for a given year.

25           The Campaign Plan will be referred to frequently

1 when discussing plan transportation operations. A Campaign  
2 Plan will be prepared for each spent fuel storage site that  
3 is scheduled to deliver fuel to the CRWMS in a calendar year.  
4 A single campaign may involve one pick-up of fuel or several  
5 over the course of that particular year. But the collection  
6 of these operations will be considered a single shipping  
7 campaign. The Campaign Plan will contain considerable detail  
8 about an upcoming campaign.

9           During the course of preparing this plan, specific  
10 information on schedules, routes, carriers to be used, points  
11 of contacts, training requirements, essentially the what,  
12 where, when, how and why questions will be addressed. Part  
13 of this planning process will include extensive coordination  
14 with all participants, and then dissemination of the  
15 completed plan.

16           A compilation of all the completed Campaign Plans  
17 for a given year is referred to as the Annual Campaign Plan.  
18 This plan is important because it provides a complete  
19 picture of the CRWMS transportation operations for a given  
20 year. A valuation of this plan will allow for identification  
21 of potential conflicts in routes, equipment use, carrier  
22 support, or other activities. The plan will also be the  
23 primary reference source when changes are required for  
24 individual shipping campaigns. And the impact of these  
25 changes must be evaluated carefully against the total plan

1 for that year.

2           The Site-Specific Servicing Plans, or SSSP's, will  
3 be developed over an extended period of time. A SSSP will be  
4 prepared for each utility spent fuel storage site and will  
5 include very detailed information that will be used to plan  
6 shipping campaigns and provide other source data for CRWMS  
7 planners. The SSSP will be a controlled document so that  
8 when changes in data are required, then the appropriate  
9 changes can be disseminated to all the holders of controlled  
10 copies of the document. The SSSP will be continuously  
11 updated over the life of the program.

12           This chart shows the relationship between the  
13 documents that I have just discussed. On the left side, in  
14 the center, you see the Annual Capacity Report feeds the  
15 specific allocation information to the utilities, whereupon  
16 they declare their intent to ship fuel by submission of the  
17 Delivery Commitment Schedule to the CRWMS. That document,  
18 once approved, also serves as the basis for development of  
19 draft campaign schedules, which are then rolled into the  
20 draft Annual Campaign Plan shown at the very top.

21           Once the Final Delivery Schedule is received and  
22 approved, then we can begin the development of the draft  
23 Campaign Plans for the individual utility sites, which are  
24 rolled into the final Annual Campaign Plan, which allows for  
25 the resolution of conflicts in the shipping schedules,

1 resulting in the publication of a final Campaign Plan,  
2 hopefully about six months prior to the actual shipment of  
3 fuel.

4           Shown in the bottom, I had mentioned previously  
5 that the development of a Site-Specific Servicing Plans, or  
6 SSSP's, is an extended process. We've effectively begun that  
7 process previously with the preparation of the two documents  
8 on the very left, the Near Site Transportation  
9 Infrastructure, which deals with the transport capabilities  
10 in and around a given utility site, and the Facility  
11 Interface Capability Assessment, which deals with the  
12 physical attributes of a given utility.

13           Those reports have allowed us to prepare Service  
14 Planning Documents, essentially one for each major utility  
15 storage site. And during our design efforts of this  
16 transportation system, these Service Planning Documents  
17 provide a valuable resource. In time, these documents will  
18 evolve into the Site-Specific Servicing Plans.

19           The next aspect of operations that I'd like to  
20 discuss are the activities performed at the utility storage  
21 sites. Under current planning, the MPC's, transportation  
22 casks, special tools, ancillary equipment and selected site  
23 unique equipment will be provided by the CRWMS to the  
24 utilities. The MPC's will be available starting in 1998.  
25 However, the delivery schedules for the transportation casks

1 to the utilities will begin shortly before the start of a  
2 shipping campaign and will be coordinated closely with the  
3 utilities and also be specified in the Campaign Plans  
4 themselves.

5           Along with the delivery of the transportation  
6 casks, we envision the delivery of that we're calling a  
7 campaign kit, which will be unique for a specific cask system  
8 and a spent fuel storage site. The campaign kit will contain  
9 special tools, spare parts, fixtures, procedures and other  
10 appropriate materials.

11           Once the MPC's and the transportation casks are  
12 delivered to the utility spent fuel storage sites, the  
13 utility will be responsible for performing the actual loading  
14 operation at the site to include the decontamination  
15 necessary to allow the casks to meet the standards for safe  
16 transport by either highway or rail.

17           The CRWMS will be responsible for providing  
18 technical data, handling procedures and on-site training for  
19 CRWMS equipment to the utility personnel as required. This  
20 will more likely occur at the start of a shipping campaign.  
21 Subsequent shipments from the same storage site will not  
22 require the same degree of support unless there is a major  
23 turnover in personnel or we're dealing with new equipment.  
24 CRWMS personnel will also be available to the utility to  
25 provide technical assistance during the handling and loading

1 of the casks.

2           The casks developed for this program are planned to  
3 be complete cask systems, including the cask, the transport  
4 vehicle, rail car or tractor/trailer and all the supporting  
5 equipment. The carrier services that will operate the  
6 tractor/trailer or the equipment that will provide the rail  
7 car will be provided and coordinated by the CRWMS. The  
8 routes for highway shipments will be selected in accordance  
9 with the routing policy and the applicable regulations and  
10 coordinated in advance with the appropriate state and tribal  
11 agencies.

12           The primary route and alternate development will be  
13 specified in the Campaign Plan. Susan Smith, in her  
14 presentation early this afternoon, will discuss the routing  
15 policy in a little bit more detail. Along with the  
16 specification of the routes, rest stops and safe havens will  
17 also be specified in the Campaign Plan.

18           We are still working the details for our  
19 anticipated rail service requirements. A considerable effort  
20 will go into this activity, since we anticipate the majority  
21 of the transport for this program will be by rail. Along  
22 with the issues to be analyzed will be the dedicated train,  
23 in-transit security for rail shipments, tracking and  
24 interchange requirements. T.C. Smith will be providing some  
25 additional details this afternoon for driver qualification,

1 and you will also receive a presentation from CBSA by Jim  
2 Daust on the highway inspection requirements that we  
3 anticipate to follow for CRWMS highway shipments.

4           At this stage of our planning, we expect that we  
5 will be utilizing barge transport for a selected few  
6 shipments, and also will use heavy haul transport for short  
7 legs of the trip between the utility sites and the federal  
8 storage facility. In most cases, the use of these two modes  
9 of transport and the requisite intermodal transfer operations  
10 will be to enable a larger cask to be utilized, and that the  
11 shipment will be transferred to rail as quickly as practical.

12           An operations center for transportation will be  
13 established. This center may ultimately become part of a  
14 larger facility that will support all CRWMS operations. But  
15 the specific activities required for transportation are  
16 listed on this slide. Specific operations center issues,  
17 capabilities and procedural requirements are still under  
18 study.

19           The functions listed on this slide are not all  
20 inclusive. However, they are representative, or they  
21 represent some key activities that must be performed as part  
22 of the total CRWMS transportation system operation. Over the  
23 life of this program, a substantial amount of money will have  
24 been invested in acquiring equipment. At any given time,  
25 this equipment will be distributed to various locations

1 throughout the United States. The intent of the inventory  
2 management activity will be to maintain proper accountability  
3 and control over this government property.

4           Along with the accountability requirements for this  
5 equipment, it will have to be maintained to a very high  
6 standard from the time the equipment is delivered from the  
7 manufacturer until it is decommissioned and disposed of.  
8 Specific details for siting a cask maintenance facility and  
9 current plans for performing maintenance throughout the CRWMS  
10 system are still under development.

11           Earlier, I emphasized the importance of campaign  
12 planning to insure a safe, efficient operation. Equally  
13 important is performing analysis of these campaigns once  
14 completed so that problems can be isolated and solutions be  
15 developed. We are calling this process the review and  
16 analysis of Campaign Completion Reports. Maximum advantage  
17 must be taken to learn from each shipping campaign whether it  
18 pertains to a specific utility site or it involves an issue  
19 that applies to the entire CRWMS system.

20           Throughout the operation of the CRWMS  
21 transportation system, plans will be prepared and updated to  
22 address unexpected major modifications or interruptions to  
23 normal operational conditions. One example would be the  
24 interruption of rail service such as experienced during the  
25 Midwest floods last year.

1           What I have briefly described today reflects the  
2 current thinking on how the CRWMS transportation system could  
3 operate. During the coming years, there will be more in  
4 depth studies in certain areas, and also the resolution of a  
5 number of policy issues. We will modify this plan  
6 accordingly, but our ultimate goal of creating a safe,  
7 efficient, cost-effective CRWMS transportation system will  
8 not change.

9           And I'm ready for your questions.

10          DR. PRICE: All right, thank you. I'm going to offer a  
11 couple of quick ones and then turn to the Board.

12           Are you in your operational plans of planning in  
13 the process of identifying, as soon as you know the routes,  
14 or even now, in-route emergency response locations and  
15 capabilities?

16          MR. KELLY: That's something we'll have to look at much  
17 more closely once we can focus in on the routes that we're  
18 going to follow.

19          DR. PRICE: But that's in your plans, you plan to do  
20 that?

21          MR. KELLY: We plan to do that, correct.

22          DR. PRICE: At some point. So you know given an  
23 incident or an undesirable event where the emergency  
24 resources are closest to that?

25          MR. KELLY: Yes.

1 DR. PRICE: And that will be part of your control.

2 DR. PRICE: We envision that sort of information would  
3 be at the fingertips of the personnel in the operations  
4 center. They would have instant recall of that sort of data.

5 DR. PRICE: Including equipment availabilities? That  
6 may be hard to get. That may take some resources to chase  
7 some of that down.

8 MR. KELLY: That's something we'll look into.

9 DR. PRICE: Okay.

10 MR. KELLY: You know, into that kind of detail.

11 DR. PRICE: Yes. Another question is, in your planning,  
12 do you intend to keep up to date on bridges inventory and  
13 things like that?

14 MR. KELLY: What we expect to have is prior to  
15 developing a Campaign Plan is some reasonable definition of  
16 what routes are acceptable from given locations, between the  
17 utility site and the destination. As we get closer to the  
18 actual shipping date, we would use those primary routes  
19 unless there's some reason to vary from that. But as we get  
20 closer, we feel that it would be important to do what I would  
21 call a last-minute review of that route to insure that there  
22 are no unexpected surprises like construction projects or  
23 other sorts of major maintenance to a bridge, as an example,  
24 that would cause a surprise during the actual movement. So  
25 that would require close coordination with the states that

1 would normally have that sort of information.

2 DR. PRICE: I think there's a national inventory of  
3 bridges and their status and so forth. That probably is  
4 information you'll want to put into the mix.

5 MR. KELLY: Yes. Let me ask if the Board has questions.  
6 Dr. Cantlon?

7 DR. CANTLON: A couple of questions. One, what level of  
8 utility interaction do you engage in in setting up the  
9 shipping campaign for a particular reactor?

10 MR. KELLY: Well, of course we haven't as yet, but what  
11 I would envision as it gets to the point where we have Final  
12 Delivery Schedules, we know where we have to ship from and  
13 what we have to ship, it's going to require a lot of close  
14 interaction with the utilities. Because obviously we just  
15 can't pick a date and assume that they're going to be ready.  
16 We're going to have to coordinate these dates based on their  
17 outage schedules. It will take a lot of intricate  
18 manipulation of this data to insure that we have enough  
19 resources to cover all our obligations. Again, the specifics  
20 of that, I can't go into much more detail, but certainly  
21 almost a one on one with the utility. I would also envision,  
22 particularly early on in this program, where we would have  
23 some formal coordination meeting among the various players  
24 for a specific shipping campaign so that before the Final  
25 Campaign Plan was completed and put out for distribution, a

1 lot of these issues would have been tabled and resolved.

2 DR. CANTLON: A follow-up question. When the agreements  
3 were worked out with the utilities and the idea of queuing  
4 and so on was based on oldest fuel first, nevertheless, you  
5 have now, as I understand it, a requirement only that the  
6 fuel must be at least five years cooled. On the other hand,  
7 there might be some real advantage to the total system to  
8 really get the coldest and oldest fuel first. Is there any  
9 thinking about modifying? Even though the utility may have  
10 the oldest fuel racked in the bottom and it may be a cost  
11 disincentive to them to give you the oldest fuel first, that  
12 may not be a system optimization approach.

13 MR. KELLY: Jim, could I defer to you on that?

14 MR. CARLSON: Yeah. The contracts with the utilities,  
15 as you said, were negotiated through a rulemaking quite a  
16 while ago. I think if we find a situation where there is an  
17 overall benefit to the program, either a technical safety  
18 benefit or a significant cost benefit to the rate payers and  
19 the nation as a whole, I think we'd probably try to reopen  
20 and negotiate with them to proceed what is in the best  
21 interest of the nation. So I would never rule that out. We  
22 do have an agreement right now, and certainly it is a  
23 contract, and they probably would want to exact certain  
24 concessions out of us for them to change the way they  
25 operate, but I wouldn't rule that out.

1 DR. CANTLON: Thank you.

2 DR. PRICE: Okay, Dr. Allen.

3 DR. ALLEN: Much of what we are hearing is somewhat  
4 similar to what we heard several years ago with regard to the  
5 planning for the transportation to WIPP. And I'm wondering  
6 whether we've learned anything from that exercise in terms of  
7 dealing with local highway departments, local towns and so  
8 forth, because of course that came awfully close to  
9 culmination.

10 MR. KELLY: Well, I can tell you that we've had a lot of  
11 close discussions with WIPP, and we've reviewed virtually all  
12 the literature that we were able to get our hands on dealing  
13 with the WIPP program. As an example, their experience with  
14 driver training, driver selection and maintenance of  
15 equipment and a whole multitude of aspects that relate to  
16 highway transport of materials, since that's their primary  
17 mode. We're certainly taking advantage of those experiences  
18 and not trying to reinvent the wheel. So the answer is yes.  
19 In terms of the application of 180(c), I'd have to defer on  
20 that. You know, how much of that experience we'll be able to  
21 utilize.

22 MR. GOMBERG: If I could add two things, actually. One  
23 of the reasons that we're having this other meeting that's  
24 been alluded to, the Transportation External Coordination  
25 Working Group meeting, in another part of town is exactly for

1 two reasons, to integrate the activities within the  
2 Department on all transportation-related shipments, and the  
3 people who support WIPP and the DOE spent fuels program and  
4 various other groups are represented. So we do have a lot of  
5 lessons learned.

6           The other is to provide a unified approach to  
7 resolving and identifying issues from stakeholders so that  
8 all the DOE programs know what we're doing, what we can learn  
9 from each other, what doesn't necessarily relate to each  
10 other's programs. And that's one of the key benefits of this  
11 working group. And WIPP is certainly a key player in that  
12 group.

13         DR. PRICE: I can't resist this. Speaking of  
14 integration, how did that come to be scheduled in the same  
15 time and place as this?

16         MR. GOMBERG: I could tell you off-line the reason.

17         DR. PRICE: Okay.

18         MR. GOMBERG: The other thing I wanted to point out to  
19 clarify, if I could, Ron's comment is we have had some  
20 limited interactions with utilities. We have the Form 859  
21 that we specifically ask for information every year from the  
22 utilities. We've done some studies, the Facility Interface  
23 Capability Assessment and the Near Site Transportation  
24 Infrastructure Reports, and the whole idea of that was to  
25 look at the utility capabilities, look at the transportation

1 infrastructure to the nearest mainline highway, to the  
2 nearest highway or mainline rail. So we have had those  
3 ongoing. The further interactions would be, though,  
4 specifically in developing the campaigns and looking for  
5 those additional types of information that would support the  
6 operation and the integration of MPC's into the program.

7 DR. PRICE: Are those studies being updated, the FICA  
8 and the--

9 MR. GOMBERG: The latest term for the studies now are  
10 called the SPD's, the Service Planning Documents. And those  
11 basically take the NSTI and the FICA data, update them and  
12 consolidate them into one set of reports. And we have Oak  
13 Ridge doing some work for the M&O to update those and put  
14 those all together. I think they've issued about 50.

15 DR. PRICE: With respect to 180(c), has there been any  
16 improvement on the picture of being able to equip responders  
17 out in the field to be able to monitor and so forth? I'm  
18 talking about the equipment side rather than the training  
19 side.

20 MR. CARLSON: We haven't got a policy resolution on  
21 that. I think there's a tendency within the Department to go  
22 in that direction to provide a limited amount of equipment or  
23 allow the states to use a limited amount of the funds that  
24 are going into training or to support training. For  
25 equipment purchase, we have not at this point flushed it out

1 and pushed a policy decision forward. So from your question  
2 standpoint, probably there has not been progress in that  
3 area, but it is one that's on the table for the future.

4 DR. PRICE: It's lunch time. Are there any questions,  
5 further questions? Dan Metlay?

6 DR. METLAY: I'm not sure who should address this,  
7 perhaps Jim. What, if any, are the implications for the  
8 transportation system should there be a private MRS, or  
9 private interim storage facility?

10 MR. CARLSON: Not being an attorney, I'll sort of  
11 qualify my remarks, but certainly the way the Nuclear Waste  
12 Policy Act is set up, the use of the waste funds are for the  
13 federal facilities. I think if the kind of things that we're  
14 doing in the development of transportation were to be  
15 expected for a private facility, it would probably take some  
16 legislation.

17 DR. PRICE: With that great question, I think we'll--oh,  
18 there's one more great question in the offing.

19 DR. CHU: Yeah, just to follow up that last great  
20 question, then not only will it require legislation to do  
21 planning and transportation, but the 180(c) provisions as far  
22 as financial assistance to the states and so on, that, too,  
23 will have to be re- or newly legislated.

24 MR. CARLSON: Is that a question or a statement?

25 DR. CHU: I'm asking, since you say you're not a lawyer.

1           MR. CARLSON: That would certainly be my--if I were to  
2 try to lend a legal opinion or a reading of the law, I  
3 believe that that is also applied to OCRWM's system  
4 transportation.

5           DR. PRICE: Thank you. I think we'll be back at 1:00  
6 for lunch. Appreciate very much your presentation this  
7 morning.

8           (Whereupon, a lunch break was taken.)

9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

1

2

3

AFTERNOON SESSION

4 DR. PRICE: Let's get started, folks. We'll begin this  
5 afternoon with the topic of Transportation Institutional  
6 Program and an overview of it with Susan Smith of DOE.

7 It's all yours.

8 MS. SMITH: Good afternoon. My name is Susan Smith, and  
9 I work, or was working till yesterday, as the Transportation  
10 Institutional Program Manager. For the people that aren't  
11 familiar with the institutional program, I've been with OCRWM  
12 and DOE a total of about 10 years as a contractor and as a  
13 DOE person.

14 The institutional program is basically the people  
15 part of our program. You've been hearing a lot about the  
16 systems and the hardware part earlier today. The  
17 institutional program sort of tells the story of RW  
18 transportation. It receives information from groups outside  
19 of DOE and inside DOE and starts to provide support to the  
20 states and other groups to help succeed in having us  
21 ultimately ship whenever we have a place to ship to.

22 The Board asked for what the need of the  
23 institutional program was or is, and I just wanted to spend a  
24 little bit of time on that. Secretary O'Leary is committed  
25 to consulting with what the term we now call stakeholders,

1 and I'll go into a little bit about who the stakeholders are.

2           I've watched in the last ten years the program and  
3 the Department change a lot. They've gotten a lot more  
4 serious about coordination with stakeholders and to  
5 incorporate their comments and needs into program  
6 development. We have understood that the campaigns that have  
7 actually shipped used institutional interactions to succeed  
8 in shipping, and the programs that did not have a good  
9 institutional program did not ship.

10           We've learned from the TMI shipments, the  
11 Brookhaven shipments, the shipping port shipments, the  
12 overweight shipments from the Virginia Power Company, Taiwan  
13 shipments, the WIPP program, the cesium program, West Valley  
14 and Fort St. Vrain, it's to promote an understanding and to  
15 build confidence in DOE's capability, it's to facilitate  
16 identification and resolution of technical and institutional  
17 issues, and to provide an opportunity for input on our  
18 program development.

19           The actual "what is a stakeholder?" We've  
20 basically identified over the years as being Federal, State  
21 travel and Local governments, the utilities, the industry,  
22 technical organizations, special interest groups, the general  
23 public, and the media. I won't go into each one, but I think  
24 as this speech goes along, you'll know which groups I'm  
25 talking about.

1           When we talked about institutional issues over the  
2 years, we've identified basically these issues, and then  
3 anything else that has cropped up is basically a sub-issue of  
4 this. Today I'm going to talk about seven, or about seven of  
5 these that are kind of important, particularly right now. In  
6 the past, others have been more important.

7           The bridges inventory and the interstate thing that  
8 Dr. Price mentioned would sort of fall under infrastructure  
9 improvements, and right now it's a timing thing of what's  
10 more critical in the planning process for 1994, and right  
11 now, we're not working on that, but it's part of  
12 infrastructure improvements to track what's going on in the  
13 country as far as the highway interface and the rail  
14 abandonments and the railroad industry.

15           How the DOE works with these stakeholders is  
16 through various mechanisms. The four large groups that--  
17 areas of mechanism that we consider the most important  
18 methods is; the cooperative agreements with national regional  
19 organizations, holding meetings, actual review and comment  
20 processes with external groups, and a public information  
21 program.

22           I'm going to go into a little detail about each of  
23 those areas.

24           In the cooperative agreement area, the seven  
25 cooperative agreement groups, which I think the technical,

1 the TRB's Transportation Board has been briefed on before,  
2 are the CVSA, Commercial Vehicle Safety Alliance; the CRCPD,  
3 the Conference Radiation Control Program Directors; the  
4 Council of State Governments; the National Conference of  
5 State Legislatures; the National Congress of American  
6 Indians; Southern States Energy Board; and the Western States  
7 Energy Board.

8           We are about to get the Northwest Council of State  
9 Governments group on board. That will cover the entire  
10 United States as far as State representatives, and the CVSA  
11 and CRCPD are all of the 50 states represented.

12           The cooperative agreement groups, our office  
13 provides about \$1.3 million to these groups each year. The  
14 benefit is that they hold meetings with their constituents.  
15 It gives us an opportunity. Most of the people that you've  
16 heard talk today have been hitting the road over the last--  
17 since 1986, giving presentations on where we are with our  
18 program, receiving the input from these cooperative agreement  
19 groups, and trying to integrate the comments into both the  
20 technical and the institutional side of the program.

21           Besides the cooperative agreement groups, which  
22 hold about two or three meetings a year for each cooperative  
23 agreement group, we have a series of other meetings that we  
24 hold each year, and I'm going to spend a little bit more time  
25 on the Technical External Working Group--Transportation

1 External Working Group that people have mentioned is down the  
2 road at this time. But I'll run through quickly what each of  
3 the things on this viewgraph are, which is the TEC Working  
4 Group; the TCG, which I believe Dr. Price was at in Las  
5 Vegas, and Woody, we've been having that meeting for several  
6 years; the Cooperative Agreement Groups, which I've told you  
7 about, national conferences. We work with other parts of DOE  
8 and DOT and FEMA to attend exercises and workshops in the  
9 emergency preparedness area.

10           We have several DOE internal transportation  
11 institutional meetings where the DOE gets together and  
12 exchanges information on what's going on, where WIPP, spent  
13 fuel, Cesium, RW, and the other programs exchange what policy  
14 is being set, what precedent is being set.

15           I sat on the Hazardous Materials Transportation  
16 Uniform Safety Act subcommittee for developing the grants  
17 program for Section 17. We work on the FRPCC subcommittees  
18 for exchanging, again, Federal information on how to in the  
19 transportation area and the emergency preparedness area so  
20 that we learn what FEMA is doing in the emergency  
21 preparedness area, what rulemakings and activities in DOT are  
22 underway so that we can better integrate our planning into  
23 the Federal system.

24           We've been working with FRA and DOT, as Dick gave  
25 you a presentation earlier today, to follow what trends are

1 going on in DOT, and I'll talk a little bit later about what  
2 we're working with with FRA, and, again, of course, with you  
3 all.

4           Now, I'd like to spend just a little bit of time  
5 talking about the TEC Working Group. I put up here the  
6 members of the TEC Working Group, and just so you have an  
7 idea of who's there.

8           The purpose of the TEC Working Group is that we  
9 have been told over the years that DOE is fragmented in its  
10 transportation planning. Different shipping campaigns  
11 respond differently to state and local and travel needs and  
12 industry needs, and depending on the number of shipments, the  
13 level of shipments, the time frame that we have to plan for  
14 these shipments, and the legislative rules that drive the  
15 programs, the states and groups are confused and have  
16 conflicting concepts of what they can expect from the  
17 Department.

18           A lot of these players are all the same players in  
19 the individual states, and what we asked is if they would be  
20 interested in having a meeting with all the DOE offices that  
21 do ship or plan to ship, and so that we can talk as one  
22 organization in one city at one time and explain at one time  
23 why we are handling things differently, and where it's just  
24 oversight correct it and where it's legislatively mandated or  
25 has a rational reason to clearly state it so that people

1 understand it and don't feel that it's arbitrarily being  
2 done, to hopefully increase some confidence in the  
3 Department.

4           We picked these membership organizations because  
5 they have either had some affiliation with prior shipping  
6 campaigns or that they were interested in upcoming shipping  
7 campaigns, they represented either a national or regional  
8 interest in the United States, and they had an interest or a  
9 way to come to the meeting.

10           The meeting is going on, as I said, down the  
11 street. It's been held every six months for the last couple  
12 of years. Yesterday, or a couple days ago before we came  
13 here, we did succeed in signing Secretary O'Leary's letter  
14 that endorsed this group as the number one transportation  
15 external working group meeting for the Department. We have  
16 10 DOE offices that participate in this group, and we're real  
17 happy that people have received this group as the group to  
18 set policy. It's mostly a working group, as the title  
19 states. We put them to work, and we have breakout sessions,  
20 and we give them material that the 10 DOE offices feel that  
21 they need to either learn more about or provide comment to  
22 us, or there are things that they have asked specifically for  
23 us to give to them.

24           I just want to tell the Board and the audience that  
25 this is a great opportunity for people that are interested in

1 setting policy for the whole Department and not just RW  
2 specific campaigns.

3           We also internally have had to coordinate at a  
4 higher rate than we have ever had to before, which was sorely  
5 needed, because in order to plan these meetings, a lot of us  
6 are doing stuff that we have monthly meetings inside the  
7 Department to prepare for these meetings, and we have--I have  
8 experienced in the last two years a marked change in policy  
9 in some of the other DOE offices that don't quite have the  
10 institutional mandate that RW has in order to uniformly  
11 establish some policies within the Department. And I'm going  
12 to go into a couple of the examples further on.

13           In the area of providing comment, I just wanted to  
14 go over some of the areas that the external parties do  
15 actually have at this moment, provided some comments. Over  
16 the years, I could probably label off a lot more things that  
17 they've provided a comment on, but right now they are  
18 reviewing the draft routing strategy. They are helping us  
19 developing the notification procedures, and they're reviewing  
20 the draft transportation plan and working on the  
21 implementation of Section 180(c), providing comments on the  
22 cask program, and the longstanding issue of whether we would  
23 do full-scale testing.

24           Each of these areas I'd just like to cover briefly.  
25 In the routing area, one of the things that Ron Kelly was

1 stating is that I work in the routing area, and some people  
2 have been confused as to why the institutional group are  
3 developing a routing policy. The history behind that is that  
4 we strongly feel that the routing criteria methodology needs  
5 to be accepted by the states in order for us to succeed.

6           So right now, we are working with the states to  
7 develop a criteria and a methodology that they can live with  
8 and that they can accept. Once we've developed that, then we  
9 would hand it over to the operational staff, who would then  
10 put it in their operational procedures, and it would be taken  
11 from there on with the operational people.

12           The RW strategy, which we started a couple years  
13 ago to meet a commitment we made in '86, started out to be  
14 just an RW specific routing criteria methodology, and this is  
15 an example of what happened in the TEC Working Group. The  
16 rest of the DOE offices understood that if DOE started this  
17 routing--I mean, RW started this routing process, that it  
18 would be ultimately the routing criteria for all the other  
19 shipments. We've seen it happen too many times with other  
20 campaigns. So they asked that we alter the title and change  
21 the concept from a RW routing criteria to a DOE-wide routing  
22 criteria methodology. The benefit of that is that all the  
23 states can now expect us to ship in a consistent manner as  
24 far as designating the routes.

25           It slowed down the schedule a little bit because we

1 now have to work with the 10 offices and all the states  
2 instead of just working with people that are mostly  
3 interested in RW. The benefit of it is luckily we now have  
4 the time to do that. We will have a DOE guidance for  
5 routing, and then we would then look at it from an RW  
6 specific standpoint.

7           What we will do is we've developed a strawman  
8 routing criteria and methodology internally with our  
9 contractors, and what we plan to do is request stakeholder  
10 involvement in the development of this through a Federal  
11 Register Notice, through the TEC Working Group, through all  
12 the individual meetings that each of the 10 program offices  
13 work with, and through interdepartmental workshops.

14           Once we've identified who the stakeholders are that  
15 really want to focus on routing area, we would like to form  
16 an external model working groups that would help take the  
17 strawman routing criteria and actually rewrite to the way  
18 they would like to see it.

19           We spent a lot of time on who would be in that  
20 group. We have some ideas of the routing experts in the  
21 industry right at the moment, but the Federal Register Notice  
22 is being developed so that people that are interested can  
23 write in and say that they want to be part of this process.

24           The routing external working groups would then  
25 draft what they conceive as a highway routing criteria

1 methodology, a rail routing criteria methodology, and an  
2 intermodel routing criteria and methodology, and we would  
3 publish the draft material again in the Federal Register for  
4 public comment.

5           Once we have gone through the hoops of finalizing  
6 that process, it would be issued as DOE guidance for the  
7 Department. We would be briefing all along as we do this the  
8 traffic managers in the Department that would need to  
9 implement this, so that they can write it in their carrier  
10 contracts and tell the shippers and carriers that they will  
11 be using that's the process they want to use.

12           It would be at the minimum a DOE order or  
13 memorandum to the field offices and anybody planning  
14 shipments, and one of the options is that, especially in the  
15 area of rail, if it's the interest of the country, we may  
16 petition to the DOT to look into it as a possible rulemaking.

17           The most important thing is that the end result is  
18 that we would have a routing criteria that the rest of the  
19 country could live with, so that if we start designating  
20 routes and start working with them, that they don't ask the  
21 question as to why it's coming through their backyard.

22           In the area of pre-notification, Steve already  
23 covered mostly what we're working on, which is the  
24 discrepancy between the NRC regulations and the DOE policy to  
25 notify any Indian tribes, and also the fact that RW would

1 like to use TRANSCOM for satellite tracking. DOE does this  
2 now, but not for NRC shipments, so there is no conflict with  
3 their physical protection requirements. So we're in the  
4 process of negotiating that with NRC and hope to have that  
5 resolved very soon.

6           The Transportation Plan has already been covered,  
7 and we just have requested comments by October 1. There's  
8 been a general confusion or dissatisfaction with the plan.  
9 Informally, from what I've been hearing, it doesn't say  
10 enough. There's a lot more interest in something more meaty,  
11 and we're hoping that we'll get a lot of comments and can  
12 work with the TEC Working Group and the TCG to craft a plan  
13 that is more to what the groups are interested in.

14           In the area of Section 180(c), I just want to go  
15 over where we are. We issued a strategy back in '92, and if  
16 we had met '98, we should be getting to the point that we  
17 were giving funds out this year. We are not meeting '98  
18 officially for the whole system, so we have had a little bit  
19 of time to prepare a more detailed grants program.

20           The TEC Working Group was originally started  
21 thinking that the sub-elements of Section 180(c) are so  
22 complicated that we could work with these groups so that we  
23 could develop a grants program that, again, would be so  
24 integrated with what they're wanting, that by the time we get  
25 to the Federal Register phase of what the grants eligibility

1 criteria would be, everyone has seen it, worked with it,  
2 helped craft it, and it isn't something that is going to be  
3 shot down because it wasn't adequately coordinated.

4           Some of the areas that we're working to implement.  
5 That is the FRA because we have changed our policy--well, not  
6 changed our policy, but with the MPC development, we need to  
7 work a lot more extensively on how we would work with rail  
8 inspection and rail emergency preparedness. We're working  
9 with the tribes on their authority to inspect our shipments.  
10 We have been conducting some workshops on emergency response  
11 for Indian Tribes because we're aware that they have limited  
12 resources, and we're continuing to fund the cooperative  
13 agreement so that we'll have an idea of what they need for  
14 180(c) when we get further down the road.

15           The other thing that the external parties do and  
16 have done over the years is input on the cask designs. I  
17 won't go into a lot of that, except for that my job  
18 internally has been to tell the technical people on a regular  
19 schedule that they are to provide the designs, the final  
20 reports, the SARs, the SARPs. And they have been wonderful  
21 over the years since 1985 to be at meetings at least six  
22 times a year giving updates on the cask program to all these  
23 external parties.

24           And in the area of full-scale testing, I just want  
25 to finish up that this has been a comment for a lot of years.

1 We did announce that we have been coordinating internally on  
2 the issue of whether we could or would provide full-scale  
3 testing in the RW program, and we issued an announcement that  
4 we would start a seven-step process to resolve this issue.

5           Essentially what we would do is issue a Federal  
6 Register Notice asking for interested parties to participate  
7 in the crafting of a full-scale testing plan, contract with a  
8 third party to write the plan, and have them hold the  
9 workshops to design a full-scale testing plan that the  
10 country would accept so that we would not be dealing with the  
11 ratcheting effect, that we would get a plan that the country  
12 could live with, and then submit--the third party would  
13 submit it to the DOE, and we would look at our situation at  
14 the time and see if we can incorporate the full-scale testing  
15 that they have written.

16           And the last slide, I just wanted to say that we do  
17 have a small public information program. It was always  
18 designed to be much bigger if we were going to be at full-  
19 scale shipping, but given the schedule, we've limited our  
20 program somewhat to exhibits and developing videos and  
21 getting out to the public, informing them of the plans for  
22 transportation. And, of course, as we got closer to  
23 shipping, this would be a much bigger part of our program.

24           That's all, and if there's any questions, I'd be  
25 glad to answer them, or comments from the audience.

1 DR. PRICE: All right. Thank you very much, Susan.

2 MS. SMITH: Thank you.

3 DR. PRICE: With regard to the TEC list of participants,  
4 I notice that there's no area that I could see that the  
5 vendors themselves for, for example, the casks and equipment  
6 that might be used in the transportation of nuclear  
7 materials, have a representation, the vendors themselves. Is  
8 that something that is an oversight, or--

9 MS. SMITH: The charter for the group was designed for  
10 basically State, Tribal and Local groups that would be  
11 interfacing with us as far as plans and what they would need  
12 to know in order to ship--I mean, for us to ship. The  
13 meetings are open to the public. I know we have a fair  
14 amount of carriers that are interested in the program, as far  
15 as people developing the hardware. We have emphasized mostly  
16 topics like emergency preparedness, inspection, public  
17 information activities, and it hasn't been very focused on  
18 the actual design of the hardware. If that was to happen,  
19 we'd be more than glad to have anybody participate, and it's  
20 open to the public if they're interested in it.

21 DR. PRICE: And also, with respect to this program  
22 specifically, do you have an area in the area I just  
23 commented, which was industry, in this area, the local? With  
24 our particular area, local affected counties or  
25 jurisdictions, they're not particularly represented in the

1 TEC, are they?

2 MS. SMITH: I was expecting that question. The affected  
3 counties in the Nevada area are funded, you know, via  
4 Congress, to come to meetings that they want to come to, and  
5 at this meeting, I think we have seven of the ten local  
6 counties, affected counties, at the TEC, but as far as  
7 official membership, because the group represents all of the  
8 Department and not specifically Yucca Mountain, we have  
9 listed those members as people that we could fund because  
10 they represent a national or regional interest. But as I  
11 said, they've come, the counties have come. They have  
12 adequate funds to come, and they participate and are welcome  
13 as full participants. It's just in title only that they are  
14 not on the list, so we don't fund their travel.

15 DR. PRICE: The Transportation Coordination Group, that  
16 is some history that you referred to earlier, since the TEC  
17 is now identified as the number one representative group,  
18 does that indicate something with regard to the functioning  
19 and functions of the Transportation Coordination Group?

20 MS. SMITH: One of the big questions the TEC Working  
21 Group members wanted to be assured of is that the existing  
22 public meetings for each program continue as usual. WIPP has  
23 a series of meetings like ours for their basic constituents  
24 that are very interested in WIPP specific issues, et cetera.  
25 And the TEC Working Group has always been RW specific only.

1 We have no intention of changing that. The agenda on TCGs  
2 are RW specific.

3 The emphasis, as the Secretary stated, is that it's  
4 just for the Department wide. It covers all of the shipping  
5 campaigns, and so that's why it's the higher level of  
6 importance.

7 DR. PRICE: I thought I heard you say that the TEC was  
8 RW specific, the TEC?

9 MS. SMITH: No, if I said the wrong acronym.

10 DR. PRICE: That's to include all of the departmental.

11 MS. SMITH: Right, and the TCG, the one in Las Vegas, is  
12 the RW specific. I might have screwed up my acronyms.

13 DR. PRICE: Okay. Any other questions from members of  
14 the Board? How about staff?

15 Okay. Woody Chu?

16 DR. CHU: Yeah, Susan, on the full-scale testing, the  
17 seven-step process; since one of the difficulties is getting  
18 agreement from all the interested parties on what constitutes  
19 a test program, what's been the reaction to  
20 that?

21 MS. SMITH: I could ask one of the stakeholders. So far  
22 there has been empathy in the situation, that groups have  
23 been aware that over the years, there's different ideas of  
24 what full-scale testing is, and so there's an understanding  
25 that it's difficult for the Department to make the commitment

1 if they don't know what they're committing to specifically.

2           So I have not heard any complaints as of yet  
3 because the end result hopefully will be a resolution in the  
4 workshops as to what would be the best full-scale test that  
5 the Department then would be needing to commit to, and they  
6 would be more amenable to committing to it because it would  
7 be a concrete plan instead of just the phrase "full-scale  
8 testing," which could mean very many different things.

9           DR. PRICE: Dan Metlay?

10          DR. METLAY: Dan Metlay, Board staff. Both of your  
11 groups that you've talked about seem to enjoy a fairly good  
12 reputation in terms of their credibility and their  
13 activities. Are there any lessons that you've learned from  
14 running these groups that you feel the Department as a whole,  
15 or your colleagues in OCRWM might take something away  
16 from?

17          MS. SMITH: The number one thing I would say is that the  
18 requests have not been inappropriate, yet the Department  
19 sometimes views that there may be. Much like the external  
20 parties are rumored to have a fear of nuclear materials, I  
21 think the Department has a fear of external parties. And my  
22 experience has been that their requests are usually fairly  
23 sound. They're usually--the requests that stay for a lot of  
24 years usually have some validity, and that it's probably a  
25 good idea to do them. Since I'm departing from this

1 position, I can say these things. And that they're very  
2 workable people, they're very professional, and they're very  
3 committed to this program and to working with us. And I  
4 would say that the most important thing is they're not  
5 difficult to work with, and I have enjoyed working with them  
6 over the years.

7 DR. PRICE: All right. Thank you very much, Susan  
8 Smith. It's an area we're very interested in, particularly  
9 stakeholder involvement, and we want to continue to keep in  
10 touch with it. Thank you very much.

11 MS. SMITH: Thank you.

12 DR. PRICE: Our next presenter is Bill Lake, who brings  
13 continuity to the program because he is staying on in the  
14 area of transportation during the restructuring. And Bill  
15 will be speaking to us on the cask development program and  
16 giving us an overview, and then a general introduction of the  
17 other speakers.

18 MR. LAKE: Thank you, Dr. Price.

19 My introduction is going to be very brief. I just  
20 wanted to talk a little bit about the next four  
21 presentations, which are closely related. The first three  
22 address hardware that we're either in the process of  
23 designing and developing, have actually built and our  
24 testing, and one that we're in the process of looking to now,  
25 and that, of course, is the truck casks, the tractor trailer

1 testing, and the MPC, respectively.

2           And we'll also talk about one important technical  
3 issue that relates to transportation and other things, but  
4 that's burn-up credit.

5           The first presentation will be by Don Nolan, who  
6 manages the cask development activities for the M & O. Don  
7 will discuss the high-efficiency truck cask design, which,  
8 incidentally, increases cask capacity over existing legal  
9 weight truck casks by about a factor of four, and actually  
10 four-and-a-half when you look at the PWR fuels. And this is  
11 done through optimization. I know there's been a discussion  
12 that you're cutting corners, you're not doing things safely,  
13 but Don's presentation, among other things, will bring out  
14 how we achieve these high capacities, which translate into  
15 fewer shipments.

16           The second presentation will be by T.C. Smith, also  
17 of the M & O, and T.C. will describe an operative test  
18 program that's currently--I believe it may have already  
19 started, or at least--it started Monday. I've been out of  
20 town and missed that.

21           But one of the reasons we decided to look at this,  
22 again, we're pushing high capacities with this truck system.  
23 We're also optimizing and working very closely with weight  
24 limits. It kind of reminds me of the aerospace industry,  
25 which is where I started. You know, I didn't think in the

1 trucking industry you have to watch ounces and pounds, but we  
2 had to here. And what we've done is identified a high  
3 efficiency trailer that was designed, especially designed for  
4 this, and selected a high performance, light-weight tractor,  
5 but we still need to test them to make sure that these do the  
6 things that we expect them to do, both structurally and  
7 performance wise.

8           The third hardware discussion will be by Jim Clark,  
9 who is the M & O manager for the MPC project, and, of course,  
10 Jim will talk about the MPC. And one of the focuses, of  
11 course, if you know the MPC, is more or less a universal  
12 system or a component to a universal system. But Jim will  
13 focus on the transportation aspects of this.

14           And after the break, I'll give the presentation on  
15 burn-up credit activities that DOE has been involved in, with  
16 many others, for probably since about 1986. It's a long  
17 ongoing program, and it's a rather interesting issue. I'll  
18 try to keep the technical presentation interesting, giving  
19 enough information because I believe this is the first time  
20 this topic has really been discussed with the Board.

21           And I'd like to turn it over to Dr. Price now to  
22 introduce the individual speakers and keep them on time,  
23 including myself.

24           DR. PRICE: All right. Don Nolan?

25           MR. NOLAN: I am Don Nolan. I'm with the M & O. I'm in

1 the Transportation Department, and my area of responsibility  
2 is cask system development.

3           My presentation deals with the summary of high-  
4 efficiency truck cask systems, which at present consist of  
5 the General Atomics GA-4 and GA-9 legal weight truck casks.

6           A legal weight truck cask system consists of,  
7 basically, as shown on the viewgraph, there is, of course, a  
8 GA-4, a GA-9 cask, and it is mounted to a specially designed  
9 trailer for each of those casks, and then it would be hauled  
10 by the tractor.

11           As Bill mentioned, T.C. Smith will talk about the  
12 tractor and trailer, and I'm going to concentrate on the  
13 casks.

14           The legal weight limit is 80,000 pounds, and I've  
15 shown what the distribution of the weight would be to make up  
16 that 80,000 pounds.

17           The overall length of the tractor and trailer with  
18 the cask on it is about 57 1/2 feet.

19           The reasons these casks are being developed, Bill  
20 alluded to that, as he mentioned, the carrying capacity as  
21 compared to legal weight truck cask systems increases from  
22 one to four PWR assemblies and from two to nine BWR  
23 assemblies, and this, obviously, would reduce the number of  
24 shipments, the number of miles traveled and potential for  
25 accidents. In addition, it reduces the routine radiation

1 exposure to the public, which might occur during  
2 transportation, since these casks have the same dose rate  
3 limits in carrying four and nine assemblies compared to the  
4 legal weight which would carry one and two. So the overall  
5 exposure should be less.

6           My presentation is going to cover four areas, the  
7 design of the casks, a brief discussion of the analysis  
8 efforts involved, the certification and process activities  
9 that have gone on, and then the last area is the testing that  
10 has been performed and is planned to be performed to confirm  
11 analysis results and cask performance.

12           I want to try to give you a feeling for the  
13 extensive detail that's involved to provide a safe cask  
14 design and to obtain a license to transport fuel.

15           This is a GA-4 legal weight truck cask system. The  
16 cask has to have features and components to provide  
17 structural integrity to dissipate the heat from the spent  
18 fuel, of course, to contain the fuel and any products that  
19 would come out of it, provide for radiological protection,  
20 and maintain subcriticality and also to operate safely.

21           Starting from the inside, we have four PWR  
22 assemblies. These would be separated by a fuel support  
23 structure, which is in a cruciform shape. The fuel support  
24 structure provides support, structural integrity for the  
25 assemblies, keeps them separated to maintain subcriticality

1 and also dissipates the heat to the inner liner. And I have  
2 a schematic of the fuel support structure on a later slide.

3           We have an inner liner, which is about 3/8 of an  
4 inch thick. It's stainless steel XM-19, which has twice the  
5 strength of more common 304 stainless steel.

6           Then moving out, we have the depleted uranium  
7 shield. This is about two-and-three-fourths inches thick for  
8 the GA-4 and about two-and-a-half inches thick for the GA-9.

9           Then there's another shell, a body of stainless  
10 steel, and this is one-and-three-fourths inches thick. The  
11 liner and the outer body here are welded to a bottom forging  
12 and a top forging, so that completely encases the depleted  
13 uranium, and this provides, of course, the main structural  
14 support for the cask and absorbs the loadings that are  
15 applied to it.

16           On the top we have a bolted closure. This is  
17 bolted by 12 high-strength bolts. There are four trunnions  
18 at the top. They're all used for lifting, but two of them  
19 are used for tie-down, and there are two tie-down trunnions  
20 at the bottom of the cask, and these sit on the trunnion  
21 supports on the trailer.

22           Going out through the thickness again, the next  
23 layer after the body would be the polypropylene neutron  
24 shield, and that's about three and one-half inches thick, and  
25 that's enclosed by another stainless steel liner that's about

1 one-tenth of an inch thick.

2           On the ends are two impact limiters, and these are  
3 aluminum honeycomb filled, and you can see these lines  
4 represent the direction of the highest strength of the  
5 honeycomb, and for the 30-foot accident drops on the side,  
6 these would be oriented perpendicular to that impact surface.  
7 For corner drops, the honeycomb is arranged this way, and  
8 then for the end drops, it's arranged axially with the cask.  
9 And the impact limiters are held on by eight high-strength  
10 bolts.

11           As you can see, the GA-9 is basically similar in  
12 design, as I mentioned. The depleted uranium thickness is a  
13 little bit less. The length is about 10 inches longer.  
14 Other than that, they're almost identical.

15           These are two cross sections of the cask. The GA-4  
16 with the four-cell fuel support structure is the cruciform,  
17 or the fuel support structure. The inner liner, depleted  
18 uranium layer, the outer body, and then the neutron shield  
19 material, and there are aluminum tubes that go from the  
20 outer--from the body to the enclosure around the neutron  
21 shield to help dissipate the heat.

22           Here's the nine-cell fuel support structure.  
23 Again, the design is basically the same.

24           This is a schematic of the fuel support structure  
25 for the GA-4, the poison or the neutron-absorbing material,

1 or the criticality control material. There are holes drilled  
2 almost the full depth of the plates. These holes are filled  
3 by B4C pellets that are like a half-inch long. Once they're  
4 all loaded, the pellets are loaded in there, there's a strip  
5 that would be welded on the outside to seal those so that  
6 they're not exposed to the pool water.

7           Those are a listing of the key design features,  
8 which I've kind of mentioned. The only one I didn't talk  
9 about were that there are access ports in the cask for  
10 draining the cask, venting and drying operations, which would  
11 occur during the loading and unloading phases.

12           The drain port is on the bottom. It originally  
13 came out the very bottom of the cask, but now it has been  
14 moved around to the side, but still near the bottom. The  
15 vent ports are in the lid, and, of course, during  
16 transportation, they're plugged and sealed.

17           These designs over the years have gone through a  
18 number of reviews by different groups, and there have been  
19 significant design changes as a result of those reviews.

20           I've just listed a few of the major ones there.  
21 The second set of lifting trunnions was added for redundant  
22 lifting in plants that would require that. The closure lids  
23 have been modified to provide cutouts for certain fuel so  
24 that the carrying capacity could be increased in a sense of  
25 the variety of fuel types that could be carried. For the GA-

1 4, it increases the length of the cavity about three inches,  
2 and for the GA-9, about two inches.

3           The other change that has been incorporated is a  
4 four-cell fuel support structure has been designed. So that  
5 can be put in the GA-9 to carry longer PWR assemblies and PWR  
6 assemblies with non-fuel assembly hardware.

7           The cask was originally painted on the outside.  
8 That has been eliminated. It was there to help improve heat  
9 rejection, but the concern for retention of contamination and  
10 the design to be more easily decontaminated and prevent  
11 perhaps maintenance problems in terms of paint chipping and  
12 continually keeping that in good shape. So it was removed.

13           The last one I've listed is a welded fuel support  
14 structure on the GA-4, and this was basically based on input  
15 from the NRC. It was previously guided. In other words, it  
16 had a key way in which the fuel support structure could slide  
17 into.

18           But after meetings with NRC, it was obvious that we  
19 couldn't really convince them that we were going to have  
20 enough interference or support by the key way. So it was  
21 decided to just weld it to the inner liner.

22           This is a table, and it just shows some of the  
23 overall dimensions and the weights of the casks. You can see  
24 that they're very close.

25           The GA-4 with impact limiters is about 19 feet

1 long, and the GA-9 is about 20 feet long. The cavity depths  
2 are shown there, and as I mentioned, with these cutouts for  
3 specific fuel, the cavity dimensions are increased. For  
4 transporting other than that specific fuel, there would be  
5 plugs or disks in those cutouts. And the cavity fuel cell  
6 cross section dimensions are the clear openings in the fuel  
7 support structure.

8           I just wanted to mention briefly how the high  
9 capacity was achieved by these casks. One important factor,  
10 of course, is that the fuel is cooled longer, ten years  
11 versus maybe two or even less years for the existing casks.

12           There are two separate designs, there are two  
13 separate bodies, so that you don't have to have an extra 10  
14 inches for the PWR assemblies. So, of course, that helps in  
15 the weight.

16           Obviously, since the fuel is square, a square cross  
17 section would be more efficient and eliminates the unused  
18 spaces that you would get from a circular cross section. If  
19 you might have noticed in the pictures I've shown, the  
20 corners are rounded, though.

21           The depleted uranium gamma shield is more efficient  
22 in that the thickness can be reduced, and, therefore, all the  
23 material outside the DU will have less dimension and,  
24 therefore, less weight.

25           And as I mentioned, the body material is XM-19, and

1 being stronger for the same loading conditions, you can  
2 reduce the thickness.

3           The fuel support structure is unique in that the  
4 poison is contained within the structure rather than  
5 attaching plates to the outside of the fuel support  
6 structure, which is more typical of a cask design.

7           And then the last item I've listed is the aluminum  
8 honeycomb filled impact limiters, of course, reduce weight  
9 and save weight to add for the other components.

10           And now I'd like to briefly describe the analyses  
11 that go into--for the design of the cask. And as been  
12 mentioned earlier, casks are designed basically by analysis,  
13 and this is acceptable to NRC. However, there have been some  
14 testing done to test features such as the crushing of the  
15 aluminum honeycomb material and also testing the neutron  
16 shield material under a fire condition.

17           The five major areas or disciplines that are  
18 involved in cask analysis are structural, thermal,  
19 containment, shielding and criticality. These analyses are  
20 performed using sophisticated computer codes, a number of  
21 finite element models, either two dimensional or three  
22 dimensional. In this way, the analyst can perform highly  
23 detailed analyses of the cask, the entire cask, individual  
24 components or specific areas. One of those areas that were  
25 modeled were the complicated intersection of the trunnions

1 with the cask body, and the models that were developed had  
2 hundreds or thousands of elements and modes to perform that  
3 analysis.

4           The computer programs and models used are typical  
5 for cask analysis and are familiar to and accepted by NRC.  
6 The applied loads to the models result from the conditions  
7 which are defined by 10 CFR Part 71, which are the normal  
8 conditions of transport and the hypothetical accident  
9 conditions.

10           These convert into mechanical and thermal loads in  
11 terms of internal/external pressure, thermal gradients,  
12 acceleration, deceleration loads, lifting and tie-down loads.  
13 The loads which normally drive the design of the cask at  
14 least from a structural and thermal considerations are the  
15 30-foot drop onto an unyielding surface, the puncture  
16 accident condition and the accident thermal environment or  
17 the fire. Then, of course, there are the radiological source  
18 terms of the spent fuel.

19           The analyses, then obviously produce results, and  
20 these results are in terms of stresses, deformations,  
21 temperatures, radiation dose levels. These results are then  
22 compared to allowable limits, and the allowable limits are  
23 established, obviously, by Part 71, which I mentioned on the  
24 previous page, but also a number of NRC regulatory guides.  
25 The regulatory guides also involve the ASME boiler and

1 pressure vessel codes, and in particular, Section 3 for  
2 nuclear components. And those codes are also used for the  
3 fabrication and examination of the fabrication part of the  
4 cask development. And then also, the ANSI standards are  
5 used.

6           The allowable limits provide significant safety  
7 margins against failure; for instance, structural failure  
8 against buckling or exceeding the strength of material and  
9 assuring that the operational temperature limits of certain  
10 features of the cask are not exceeded like the seals and the  
11 polypropylene neutron shield material.

12           We take the analysis methods and the models, the  
13 applied loads and the results, the allowable limits, and  
14 these are all summarized in a safety analysis report, which  
15 is then submitted for NRC review.

16           And that finishes the cask analysis part of it, and  
17 I'd like to just briefly go through the certification process  
18 activities that have been going on.

19           Any cask supplier or cask designer first has to  
20 have an NRC-approved QA program before any activity can  
21 start, and the NRC will audit the cask suppliers periodically  
22 to assure that they are performing their activities to that  
23 program.

24           Early on in the design phase, as soon as possible,  
25 a designer would go into the NRC and start to present the

1 design to them. On the GA-4/9s, many presentations have been  
2 made to NRC during the design analysis phase, and this will  
3 continue when the scale model is tested.

4           The last two meetings that were held were on June  
5 2nd and July 13th of 1993. At that point, NRC said, we  
6 believe you're ready to submit this, and so we have been  
7 proceeding to get ready to do that. Obviously, the reason  
8 you go to NRC is to hope that you can resolve all the issues  
9 before you submit the SAR and you have no surprises when they  
10 come back with the first round of questions. They will  
11 perform their own thorough and exhaustive independent review.

12           And as I've mentioned earlier, these reviews have  
13 been done by other external groups, and they are completed.  
14 The safety analysis report for the GA-9 will be submitted in  
15 the end of July, and for the GA-4, the end of September. We  
16 expect or hope to get the first round of questions six to  
17 nine months after that. Although, as it's been mentioned  
18 before, NRC doesn't require scale model testing, it certainly  
19 helps facilitate the licensing process.

20           So a half-scale model is under fabrication. It's  
21 expected to be completed at the end of this year, by  
22 December, and then tests would be conducted early next year  
23 and have test results by March or April of '95. These test  
24 results would then be incorporated into the next revision of  
25 the safety analysis report.

1           And this approach has been worked out with NRC by  
2 General Atomics and DOE.

3           The last area I want to talk about is the cask  
4 testing phase which goes on during design and through  
5 fabrication. The first part of these would be component  
6 material or subsystem testing during the design phase, we'll  
7 mention a couple later; the design verification or regulatory  
8 testing to the Part 71 accident conditions with the scale  
9 model test; and then after fabrication, prior to acceptance,  
10 there would be acceptance testing, and then during use, there  
11 would be periodic maintenance testing.

12           The component material and subsystem testing,  
13 that's been done, a full-scale mockup of a section of the  
14 cask body, which included the outer body part, the neutron  
15 shield material, the aluminum tubes through the shield  
16 material, and then the outer enclosure. And this was done in  
17 response to reviewer comments to demonstrate the ability of  
18 this area of the cask, and this was done and the results were  
19 very satisfactory.

20           A full-scale mark-up of the lid closure area was  
21 also performed to demonstrate the sealing capabilities. Fire  
22 tests have been done on the neutron shield materials to be  
23 sure that their performance will be acceptable for the  
24 thermal, and as I mentioned, several tests on the aluminum  
25 honeycomb material has been done to get forced deformation

1 curves so that in predicting what's going to happen to the  
2 cask during these accident conditions, you will be assured  
3 that you can predict them correctly.

4           And as I mentioned, the cask testing on a half-  
5 scale model will consist of three sets, 30-foot drop and then  
6 a puncture, a side drop of 30 feet, and then the puncture  
7 into the damaged area will be performed. And then on the  
8 side slapdown, the slapdown is done at a small angle, from  
9 horizontal. The side, of course, is flat. The slapdown is  
10 at a slight angle, and typically, the secondary impact on  
11 that will be the worst in terms of deceleration loads because  
12 of the additional inertia that you get from the  
13 rotation.

14           And then there will be a center-of-gravity over the  
15 end corner, and then, again, a puncture into the damaged  
16 area.

17           Now, once the cask is built, and prior to accepting  
18 it, the cask is subjected to testing, such as pressure test,  
19 leak test and load testing. And then once it's in use, there  
20 will be periodic maintenance testing, such as leak testing  
21 and visual inspections.

22           And that's my presentation.

23       DR. PRICE: All right. Dr. Brewer?

24       DR. BREWER: Brewer, of the Board.

25           I have no idea. How many of these casks are being

1 planned, and roughly, what does each one cost? I'm curious.

2 MR. NOLAN: Presently, there's two prototypes, one of  
3 the GA-4 and one of the GA-9, and the cost estimate now is  
4 around three million.

5 DR. BREWER: Apiece?

6 MR. NOLAN: Apiece.

7 DR. BREWER: And what is the expected production run of  
8 these? You're making more than one each, right? How many  
9 are you going to make?

10 MR. NOLAN: Well, I guess that depends on where we're  
11 shipping and how many truck cask sites we have. That really  
12 hasn't been decided.

13 DR. BREWER: Okay.

14 DR. PRICE: Don Langmuir?

15 DR. LANGMUIR: Looking at your overhead 12, you divide  
16 by two calculation. It looked as if the casks weighed 26 or  
17 27 tons overall. How much of that weight is fuel? What  
18 percentage of the overall weight is the fuel that's  
19 contained?

20 MR. NOLAN: Well, for a PWR, it's about three--let's  
21 see, 6,000 pounds, roughly.

22 MR. LAKE: The PWR, I think, is about 1,500 each.

23 MR. NOLAN: Apiece. So that's about 6,000 pounds. And  
24 the B's are close to the--I mean, the total weight of the 9  
25 is close to the total weight of the 4.

1 DR. PRICE: Other questions from the Board?

2 Some of the experience with casks has indicated  
3 that the ports, drains, vents and so forth, including the  
4 covers, have been misused during normal activities. What  
5 steps in design have you taken to try to prevent such misuse?

6 MR. NOLAN: Well, some of the comments that have been  
7 mentioned, you know, that have been received before in terms  
8 of markings to show which way to turn the valve and so forth  
9 and the operational steps and procedures have been, or would  
10 be, clearly identified in the operations manual. To assure,  
11 you would, obviously, train a crew to make sure that they're  
12 doing it correctly before you would have fuel in there.

13 DR. PRICE: Where possible, you want to design out such  
14 things and not rely on procedures?

15 MR. NOLAN: That's true.

16 DR. PRICE: And have you engaged in an effort to see  
17 what you can design out?

18 MR. NOLAN: Yes. As a matter of fact, in the file  
19 design report, there's a chapter on how those things have  
20 been addressed.

21 DR. PRICE: You mentioned the lack of paint, and I take  
22 it from your comments that that is related to the weep  
23 phenomena?

24 MR. NOLAN: Yes, and also chipping and maintenance of  
25 keeping the paint in good condition.

1 DR. CANTLON: Dr. Cantlon, Board.

2 These are single-purpose casks that really require  
3 a hot cell for both loading and unloading, right?

4 MR. NOLAN: That require--I'm sorry?

5 DR. CANTLON: Require a hot cell for loading and  
6 unloading?

7 MR. NOLAN: No, you would do these in a pool, spent fuel  
8 pool. You could do them in a hot cell, too. I mean--

9 DR. CANTLON: Well, yeah, okay. Hot cell or a pool.

10 MR. NOLAN: Yes.

11 DR. CANTLON: What's the destiny? Where are these  
12 things being transported to? Where is the pool or hot cell  
13 on the other end?

14 MR. NOLAN: On the other end? Well, until we have an  
15 MRS or the repository, we don't have one.

16 DR. CANTLON: So these things would be useless unless  
17 there could be a hot cell or an unloading pool?

18 MR. NOLAN: Or a storage place, that's true.

19 DR. CANTLON: Well, are these designed for storage, as  
20 well as transport?

21 MR. NOLAN: No, these are just transport casks.

22 DR. CANTLON: Right.

23 DR. PRICE: Thank you. I think we've run out of time.  
24 We still have questions, but I think we've run out of time,  
25 and our next speaker is T.C. Smith.

1 MR. SMITH: I'd like to, first of all, thank you for the  
2 opportunity to talk to you today about the LWT, or the legal  
3 weight truck tractor/trailer testing. This testing is  
4 currently underway at the Allied Signal Automotive Proving  
5 Ground, located in New Carlisle, Indiana, which is about 20  
6 miles from--in South Bend, thank you, the home of Notre Dame.  
7 Thanks a lot.

8 In terms of setting the stage for this briefing, I  
9 don't need to spend a lot of time on the first couple of  
10 bullets because we've beaten them to death. You know that  
11 the priority is to go to rail. We will have some highway  
12 shipments. The purpose of this test is to be sure that the  
13 tractor and the trailer that we employ is as safe, durable  
14 and reliable as we can make it.

15 Basically, the test is going to be broken down into  
16 these stages. Now, we'll talk about them all individually,  
17 but the focus of the first part of the test will be on the  
18 trailer durability. We will then transfer our focus to the  
19 tractor performance. We'll take into consideration human  
20 factors, and then we're going to take it on the road and see  
21 how well it does outside the test track environment.

22 Here's what I'll talk about during the briefing.  
23 Here's a picture of what it actually looks like. This is the  
24 actual LWT transport system minus the actual cask. This is a  
25 simulated, we call it our cement block. It weighs 55,000

1 pounds, has the same center of gravity characteristics as the  
2 GA-4/9 cask system. That is a freightliner cab-over-engine  
3 configured tractor. It's one that you could go right  
4 downtown Denver and order from your local freightliner  
5 dealer. All we did is when we purchased, or when we ordered  
6 this vehicle, we went through, and just as you would when you  
7 ordered a car, we went and ordered certain light-weight  
8 options. As an example, we only have a 100-gallon fuel tank  
9 on there. We have aluminum wheels. Anywhere we could save  
10 weight, without compromising the structural integrity or the  
11 safety of this vehicle, we did so.

12           You've heard the term legal weight. This is a  
13 legal weight system. That means that the cask, the trailer  
14 and the tractor cannot weigh more than 80,000 pounds, and  
15 that's mandated by the 1982 Surface Transportation Act, or  
16 we're actually about 780 pounds underweight. And that's  
17 ready to go, that's with fuel, that's with drivers, both male  
18 and female, and for planning purposes, we plan on keeping  
19 them under 200 pounds, which may be a struggle. And it also  
20 includes 240 pounds worth of communication and emergency  
21 gear, like chains and radios.

22           Here's what the actual test track looks like. This  
23 is the Allied Signal Test Track. It was originally a  
24 Studebaker facility. Basically, without spending a lot of  
25 time on it, this is the durability part of the track. This

1 is where your underlying road is found. This is where the  
2 chatter bumps are found. This is where the large and small  
3 cobblestones--this is where we're going to beat the system to  
4 death up here. Then there's a three-mile oval track where we  
5 will do high-speed lane changes and where we will accumulate  
6 a lot of the mileage that we're required to get to 240,000  
7 equivalent highway miles.

8           In terms of where we've been, basically we ordered  
9 the tractor and had it delivered with our specifications to  
10 Allied Signal Automotive Proving Ground last November. They  
11 accepted it for the purposes of conducting this test.

12           Our first real challenge was to go out and try to  
13 duplicate or try to determine what type of operational  
14 environment will our system be subjected to when it goes out  
15 on the road, moving back and forth from a repository to the  
16 utilities, or vice versa.

17           The Department of Energy did a study about two  
18 years ago that determined basically that 75 per cent of the  
19 roads that the vehicle and this trailer will operate on are  
20 going to be smooth interstate; 17 per cent are going to be  
21 rough interstate. Actually, if you've driven around  
22 Washington, D. C., it's probably the other way around. And 8  
23 per cent of the roads will be secondary roads, both smooth  
24 and rough. We plan on hitting a bridge approach every five  
25 miles and running across a railroad crossing every 225 miles.

1 Well, that's fine, but how do you take that type of data and  
2 translate into a test track environment so that you can test  
3 this system in a test track environment?

4 Well, it took us about three weeks, us being AEPG,  
5 the engineers at Allied Signal, about three weeks to actually  
6 do this, coming up with the right number of combinations of  
7 trips around the durability track. But before they did that,  
8 they had to go out and actually find these roads and  
9 instrument up this trailer with string gauges and  
10 accelerometers, that they went and found this 75 per cent of  
11 the smooth highways, 17 per cent rough. They found them in  
12 three states by driving over almost 500 miles in 10 hours,  
13 and the states were Indiana, Illinois and Michigan.

14 Now, we know what that 75 per cent of the highway  
15 miles translates to into strain and input to accelerometers.  
16 Now we have to duplicate this on a test track by developing  
17 something we call a compression ratio. How many miles do we  
18 need to drive around this very demanding durability part of  
19 the test to equal 240,000 equivalent miles?

20 After many, many iterations of driving around the  
21 durability track to find the correct combination of events,  
22 those chatter bumps and the cobblestones and underlaying  
23 road, the engineers determined that the ratio was going to be  
24 32 to 1. For every mile we drive on the test track, it's  
25 going to be equal to about 32 miles of equivalent stress and

1 strain on the highway.

2           That test, I'm happy to report, just started  
3 Monday, and so they've already started gathering some of this  
4 data. It's too early to predict anything yet, but the focus  
5 of the first part of the test is to determine the durability  
6 of the tractor--I'm sorry, the durability of the trailer, and  
7 that's exactly what we're doing right now. You can take the  
8 word "estimated" off your slide.

9           The test did, in fact, start this past Monday, that  
10 durability portion of the trailer test. It's going to last  
11 until we--we estimate it will last until September, at which  
12 time the tractor and the trailer--because let me tell you,  
13 they're going to take a tremendous beating out there. Some  
14 of you may remember a commercial on T.V. several years ago  
15 where a pick-up truck was down the railroad ties, and you see  
16 it bouncing all the way down the road? Well, that's what  
17 this is going through, only it's not one mile. It's going to  
18 be almost 7,500 miles of this kind of abuse, stress and  
19 strain into the tractor and the trailer to determine its  
20 durability.

21           After it goes through that, and assuming that it  
22 passes, the tractor and the trailer are going to be  
23 refurbished to Commercial Vehicle Safety Alliance inspection  
24 standards. Now, the focus of the test is going to go from  
25 the trailer to the tractor, where we're going to be concerned

1 about capturing the operational performance characteristics  
2 of this system. It will still have the simulated cask on it  
3 We're going to see how well does it break? How well does it  
4 pass? How well does it change lanes at 55 miles an hour, and  
5 what are any peculiar operating characteristics of this  
6 system?

7           Now that we know the trailer is durable, we know we  
8 have the operating characteristics of the tractor, we're now  
9 going to be very concerned about the human dimension here.  
10 The human factors we're going to be considering here because  
11 of the configuration that we have. When you talk about  
12 trucks, you've got two basic configurations. You've got the  
13 conventional engine out in front, which represents about 70  
14 per cent of the truck population, and about 30 per cent of  
15 the trucks will be the cab-over-engine configuration.

16           I did a very scientific study as I took my daughter  
17 down to college one Sunday afternoon on Interstate 81 down to  
18 Radford, and I actually had my wife counting trucks. And she  
19 doesn't care to do that again. But that's where those  
20 figures came from.

21           But the bottom line is with this cab-over-engine  
22 configuration, we have some concern because of where the  
23 driver sits relative to the engine, there is an increased  
24 potential for more noise, more vibration, and we want to  
25 address the question of does this cause us any accelerated

1 fatigue for the driver?

2           Why are we worried about this? Because if we don't  
3 do safety right, we have failed. We know that as it comes to  
4 highway transportation, that the driver is the weak link.  
5 When it comes to drivers, we know that the three major causes  
6 of accidents are inexperience, lack of training and fatigue.  
7 We're not worried about inexperienced drivers because we're  
8 not going to hire inexperienced drivers. The drivers that we  
9 are going to hire are going to be at least as qualified as  
10 those who are operating in the WIPP program. Those young men  
11 and ladies have qualifications. They're at least 25 years  
12 old, so they're mature. They're going to have at least  
13 100,000 miles of semi-trailer experience. They will be to  
14 every driving school we can send them to. They will be CVSA,  
15 Commercial Vehicle Safety Alliance, inspection qualified.  
16 These particular guys, some of them have even been to the  
17 Dale Carnegie course.

18           So we're not worried about--my point here is we're  
19 not worried about inexperience, and we're not worried about  
20 driver training because we're going to hire, we're going to  
21 train, and we're going to retain experienced drivers.

22           We are concerned about the fatigue factor. Now,  
23 this is not meant to be an all-inclusive list of every cause  
24 of fatigue, but rather the ones we find to be more  
25 significant. And we're going to focus in on the top two

1 because those are germane to the cab-over-engine  
2 configuration that we're testing.

3           And what we're going to do is we're going to have  
4 the test track drivers out at Allied Signal, and they are  
5 males and females. They are going to operate both the cab-  
6 over-engine, our tractor, and they're going to operate an  
7 engine-out-in-front conventional tractor. They're going to  
8 operate both of them for about 40 hours apiece, and we're  
9 going to test their reaction to various tests that are  
10 currently being developed to see how quickly they react and  
11 how accurately they react to this test we're going to give  
12 them in the vehicle.

13           In addition, we're going to measure the steering  
14 wheel input and amplitude. Those of you that have the  
15 pleasure of going to sleep while you're driving--none of you  
16 I'm sure have, but I have--you notice you drive down the  
17 road, you pick up subtleties in getting off course, and you  
18 make small corrections continually. Well, as you get  
19 fatigued, you don't pick up on those subtleties, and so when  
20 you do make corrections, they are usually large, and  
21 sometimes you overcorrect. Well, we're going to be able to  
22 measure that, and we're going to compare that reaction  
23 between our cab-over-engine configured vehicle and the  
24 conventional tractor and see if we have any significant  
25 difference.

1           A logical question is, well, what are you going to  
2 do if you see it? We're going to reduce the number of hours  
3 that the operator operates this vehicle once we put it in  
4 operation.

5           Now we know the trailer is durable. Now we know we  
6 have captured the operating characteristics of the tractor.  
7 Now we have looked at the human factors considerations and  
8 made any adjustments we may need to make there. Now we're  
9 going to take this system out of the test track environment,  
10 and we're going to put it on the road. We're going to put it  
11 on the road in what we call our Laps of America where we will  
12 actually visit 16 utility sites in 13 states, drive over  
13 17,231 miles, and traverse 27 states.

14           We're going to find--we have picked these sites  
15 because they are the most demanding sites we could find in  
16 our first two years of delivery schedule. We've had some  
17 concern expressed to us about some of the particularly steep  
18 inclines that are found in the state of Nevada. We are doing  
19 an analysis right now to find 6 per cent grades on our trip,  
20 and I'm sure--on our trips to California. That's not going  
21 to be a problem. But I promise you, we're going to find at  
22 least a 6 per cent grade somewhere on our test.

23           Here's what we've learned so far. Pretty much is  
24 hardware related. We found that our tractor, the frame was  
25 too long. In certain instances, you can see up here, that

1 back part of the tractor frame was contacting the gooseneck  
2 of the trailer. We simply cut four-and-a-half inches off the  
3 tractor frame. It was all overhang, had no impact on the  
4 structural integrity of the tractor. Frankly, if I had  
5 thought about it, I would have had them weigh those parts,  
6 and we would have taken credit for the weight loss as well.

7           In addition, we now are going to a split fender. I  
8 know you've probably never looked at fenders like this  
9 before, but when you drive down the road, next time you drive  
10 down the interstate, take a look at the fenders on the  
11 tractors. Most of them are one piece. The only time you'll  
12 see a two-piece split fender is on a vehicle that carries  
13 some type of a liquid. Ours are going to have to be split  
14 fenders because the single fender we had on the tractor was  
15 also contacting the gooseneck of the trailer.

16           I'll show you a picture of it. This is what the  
17 two-piece fender looks like. This part's on the tractor,  
18 this part's on the trailer.

19           The next point I want to make on this slide is that  
20 one of the real challenges that we had was we found that as  
21 we tried to develop this compression ratio, and that's where  
22 we were trying to duplicate the road profile data on a test  
23 track, we found that as we stressed one part of the trailer  
24 to 100 per cent of what it was seeing out on the road, we  
25 sent the gooseneck, where we had the strained gauge in the

1 gooseneck, we sent that to 2 or 300 per cent of what it was  
2 seeing out on the road.

3           So that's why it took us two or three weeks to  
4 develop this compression ratio of 32 to 1, finding the right  
5 combination and the right speeds to enter these various  
6 events to give us a fair distribution of compression ratios  
7 and stress and strain through the entire trailer.

8           Let me show you just a brief look. This is the GA-  
9 9 trailer, and this is the location of the strained gauges.  
10 An example, a problem we had initially, was we were getting  
11 100 per cent of the input on the road of the road input right  
12 here at accelerometer No. 7 on the test track, but strained  
13 gauge No. 6, or strained gauge No. 8 and 9 located up near  
14 the gooseneck of the trailer, we were finding it was going  
15 into overload.

16           And so we want to be fair by stressing everything  
17 at least 100 per cent, but we don't want to absolutely  
18 guarantee failure by sending other parts of the trailer into  
19 4 and 5 and 600 per cent of its design strength.

20           Now, what we're going to do with all this  
21 information when we finish it, and with any luck that will be  
22 about this time next year, is validate that the tractor and  
23 the trailer design, and we had to verify this legal weight  
24 highway cask, the GA-4/9 that Don Nolan covered, is, in fact,  
25 safe, reliable and durable. We'll use those specifications,

1 then, to go out and procure a tractor and a trailer that will  
2 satisfy our highway transportation requirements.

3           Questions, comments, criticisms, corrections?

4       DR. PRICE: Thank you, T.C. Dr. Cantlon?

5       DR. CANTLON: Yeah, is the cab instrumentation and so on  
6 conventional, or is there some special look at user  
7 friendliness in the instrument design?

8       MR. SMITH: Thank you for the question. The  
9 instrumentation is pretty much the standard freightliner. As  
10 I said, this is an off-the-shelf freightliner vehicle. But  
11 if we find, because we're going to give the operators both a  
12 test track and in the over-the-road operational assessment, a  
13 chance to fill out questionnaires, and if they don't like  
14 something, something doesn't make sense, we're going to ask  
15 the freightliner to change it when they build it for us, or  
16 whoever it is that builds this.

17           Dr. Price mentioned earlier that this TRANSCOM  
18 system that we will have in the cab for the test, we're going  
19 to monitor this TRANSCOM system in the M & O in Vienna, where  
20 I'll be able to show you when this vehicle is on the road  
21 within 1,000 feet of where it is at all times. We're going  
22 to go to people who are currently using the TRANSCOM system,  
23 find out where they put it in their cab, and we're going to  
24 at least start off with putting it there and make sure that  
25 is a good place from the driver's perspective to reduce the

1 amount of fatigue or distraction from the road.

2 DR. PRICE: With respect to that question on  
3 instrumentation in the cabs, not only the TRANSCOM, but  
4 additional radios no doubt, and there's been some discussion  
5 in the past, but I haven't heard much of it lately about  
6 instrumentation for monitoring the conditions inside the cask  
7 from the cab itself. Is there anything going on in terms of  
8 that discussion of additional instrumentation in the cab?

9 MR. LAKE: Bill Lake. No, we aren't looking at that at  
10 this point.

11 DR. PRICE: Do you anticipate future discussion in those  
12 areas? It has something to do with MPC design, obviously,  
13 and also with designs in process?

14 MR. LAKE: Yeah. No, we haven't really been addressing  
15 that.

16 DR. PRICE: You don't feel that it's important for the  
17 driver to be able to monitor the conditions inside the cask?

18 MR. LAKE: I'm not sure. I think we'd have to look at  
19 it, but I'm not sure the driver would know what to do if  
20 there were adverse conditions in the cask, and it's a passive  
21 device that we're designing presumably not to have problems,  
22 but I think it's something we'd have to look into.

23 DR. PRICE: I don't think it would be too hard to tell  
24 him what to do if some things start going wrong.

25 MR. LAKE: Yeah.

1 DR. PRICE: Also, in addition, the conditions, some cabs  
2 have real live monitoring--I'm searching for the term, but I  
3 can't get it--real time monitoring of certain conditions of  
4 the truck itself in addition to temperature and that, brake  
5 conditions and other things.

6 MR. SMITH: We will have, Dr. Price--we will have an on-  
7 board computer on the vehicle. As a matter of fact, it's  
8 already on the vehicle, that will capture for us--it's not  
9 really designed to read out to the driver, but rather to give  
10 us a historical feel for how fast he's driving. If there's  
11 ever an accident, it's like a black box in an aircraft, we'll  
12 be able to reconstruct how fast he was driving, when he  
13 applied the brakes, how hard he applied the brakes. He'll be  
14 able to log in and log off electronically on that. So we'll  
15 be able to accurately monitor his hours of service. But that  
16 doesn't read back real time information with respect to the  
17 condition of his brakes.

18 Remember now, this driver is going to be Commercial  
19 Vehicle Safety Alliance inspector qualified, and he's going  
20 to give us essentially a very brief CVSA inspection every day  
21 before he starts off on the first run of the day. We're  
22 going to monitor the maintenance conditions of this tractor  
23 and trailer very carefully.

24 DR. PRICE: In addition, there are presently devices  
25 being considered and developed and researched on them for the

1 detection of fatigue and sleepiness in drivers, and that  
2 might be something you'll want to keep alert to because if  
3 you decide not to include such devices, if they are  
4 ultimately developed, then you'd have to be able to defend  
5 that, defend that in this kind of a case. And, also, as  
6 we've discussed in the past, there are devices that are also  
7 under consideration and some literature in the area of driver  
8 readiness. And, I think you're pursuing the driver readiness  
9 side of things.

10 Other questions from the members of the Board?

11 DR. ALLEN: Just a comment. If you use this in some  
12 states like California and they go at the speed limit,  
13 they're going to block traffic for miles and miles.  
14 Everybody wants to go much faster than the speed limit.

15 MR. SMITH: And, we will be taking this to California as  
16 part of our over-the-road operational assessment, as well.

17 DR. PRICE: One general concern is we are entering into  
18 an era of intelligent vehicle and highway systems which will  
19 also impact your cab and also impact your operations a great  
20 deal. That may develop because if we're talking about  
21 campaigns in the year 2020, these may very well be in  
22 existence at that time and I don't think it's too early to  
23 look at what is the impact of having intelligent vehicle  
24 highway systems to cope with. Some discussion has been that  
25 it will start with trucks. So, I think it's something to be

1 aware of.

2 MR. SMITH: That's a very good point. As a matter of  
3 fact, Ron Kelly went down to your alma mater about a couple  
4 of weeks ago and attended a seminar on the intelligent  
5 vehicle highway system. We are keeping close tabs on that to  
6 see where we can apply that technology to our highway carry  
7 system.

8 DR. PRICE: Okay. Thank you very much, T.C. We're  
9 running just a little bit behind, but not very much.

10 Jim Clark, you're going to catch us right up.

11 MR. CLARK: I'm Jim Clark and the agenda is billed here,  
12 the Transportation Manager; I'm the MPC Project Manager and  
13 I'll be giving this presentation for Bill. I'll focus on the  
14 substance of things that you may not have heard before. This  
15 is an act of procurement while I'll be able to talk to  
16 everything that is in the RFP and the design specs. I'll  
17 have to be careful about interpreting any of those  
18 specifications.

19 The subject is the MPC transportation cask, but the  
20 MPC is a system; it has separate overpacks. To talk about  
21 the transportation cask is to talk about the MPC itself, and  
22 to talk about the MPC sets us into discussions about the  
23 interface. So, we will talk extensively here about the MPC,  
24 as well as its transportation overpack.

25 Again, the MPC system is comprised of several

1 physical components. The ones that we would normally talk  
2 about in depth is; the canister which is the basket for a  
3 transportation cask. The transportation cask and its  
4 transporter, which I've mentioned up here, is the rail car.  
5 We will also have to recognize the interfaces with the  
6 storage unit or module, the on-site transfer cask, and  
7 various ancillary equipment, which are important, such as  
8 lifting beams and the such.

9           You have probably seen this slide many times, but  
10 the key here again is that the MPC--well, we'll try that some  
11 other time. You have to get people with good eyes. The MPC  
12 is contained within all the overpacks and it crosses these  
13 boundaries. It is part of the storage module, the  
14 transportation cask, and eventually the waste disposal  
15 package.

16           I didn't mean this to be a marketing--but again it  
17 goes to the question of the various requirements on the MPC  
18 and on the transportation cask. I'd like to also say that  
19 this is not just some assertion. These benefits have been  
20 backed up by system studies which I'll point out something  
21 you may or may not know in a minute.

22           This is more of the benefits of the system. We've  
23 had previous discussions on this in the discussions about the  
24 feasibility study and on the conceptual design presentation  
25 last year.

1           The word "conceptual design" we use as kind of a  
2 shorthand, but the reality of the conceptual design report  
3 was that the conceptual design report stood for a longer  
4 title; the multi-purpose canister implementation plan  
5 conceptual design phase report. You can see why we've  
6 shortened it to conceptual design or CDR. That CDR included  
7 a conceptual design, but it also included many system  
8 studies. It included a concept of operations, logistics  
9 data, and a series in Volume 5 of systems studies. As you  
10 can remember, the report itself filled a small table. We are  
11 busy distilling that report down to about a 100 page readable  
12 document that will present the systems evaluation. We call  
13 it a summary report. It's title will be MPC system  
14 development, a system engineering approach.

15           I ought to also mention, before we get too far into  
16 this, we also use the jargon "75 ton and 125 ton". Those  
17 terms are limits. We expect the actual weights to be  
18 different depending upon the vendor. So, we've been trying  
19 to discipline ourselves to start talking about large and  
20 small rather than 125 and 75.

21           I'll talk for a minute on the RFP before we go into  
22 the specs. Since we developed the conceptual design and  
23 presented the conceptual design report, we have been busy  
24 evaluating the information. It has been incorporated into  
25 the baseline, the MPC has. We have developed design

1 requirements documents. They were the basis for what we  
2 called design procurement specifications.

3           This RFP, this request for proposal, includes  
4 proposal requirements, statement of work, and these design  
5 procurement specifications. We issued the RFP early June.  
6 We had a bidder's conference in mid-June. We've had about  
7 100 requests for the actual RFP itself. We had about 50  
8 vendors, 50 representatives of industry, attend the bidder's  
9 conference. We have extended the original due date of the  
10 proposals from August until October to allow competitive  
11 proposals to us. You probably have read the difficulties  
12 people allege they might have with the bidder bonds. We have  
13 modified the bond requirements of that RFP. We expect the  
14 proposals, we require the proposals, to be to us in early  
15 October for the technical side and mid-October for the price  
16 or cost side. We will, depending upon the number of  
17 proposals and the degree to which they are good proposals,  
18 would expect to execute contracts and make awards no later  
19 than March of '95. We still have a target MPC deployment in  
20 early '98. That, of course, will be somewhat dependent upon  
21 what proposals we receive from the vendors. This is a  
22 competitive procurement. We are relying heavily on the  
23 industry to bid this process.

24           The scope of the RFP, we are requiring or we are  
25 planning on three phases. The Phase 1 is the design & the

1 preparation of safety analysis for submission to the NRC.  
2 Phase 2, which we would expect to begin about a year after  
3 the start of Phase 1, would be to seek the NRC certification  
4 and to develop and test prototypes. Phase 3 is the  
5 fabrication of the MPCs. It is targeted at the MPC  
6 requirements as best we know them for 1998 and 1999. Both  
7 Phases 2 and 3 are optional. Depending upon the bid prices,  
8 the performance, and the requirements of the program, we  
9 would execute Phase 2 or Phase 3.

10           Phase 1, itself, we are going to design both large  
11 and small MPC systems. Those will include MPCs for both BWR  
12 and PWR. They will be rail cask. We will include the  
13 storage mode in the design. We will include the on-site  
14 transfer system in the design and we will have all the  
15 ancillary equipment designed to both load transport casks,  
16 move it on the site, and to load the storage module.

17           Phase 2 will be certification by the NRC. The RFP  
18 does include the possibility that we will have to build and  
19 test regulatory models. They're 1/4 scale for the rail  
20 system compared to 1/2 scale for the truck system. We expect  
21 the designers to design by analysis, but in order to expedite  
22 certification, we believed it was prudent to plan for and,  
23 therefore, the RFP includes the potential for regulatory  
24 testing. Phase 2 also includes the fabrication and testing  
25 of prototypes. And, those prototypes are the MPCs

1 themselves, the transfer casks to move the MPCs to the  
2 storage mode, the trailer to do that. The storage mode  
3 itself--and, I use the storage mode just to try to avoid cask  
4 --it could be vertical, it could be horizontal, it could even  
5 be potentially a vault depending upon the vendor's design  
6 solutions. We have a limited number of prototypes in this.  
7 We have only two prototypes for the transportation cask.  
8 Those prototypes include one small transportation cask and  
9 one large transportation cask.

10           Phase 3, which would proceed based upon completion  
11 of our environmental activities, review by the Department on  
12 the acquisition side, obtaining favorable prices, and getting  
13 the NRC certification would be to start fabricating these  
14 MPCs and to deliver them in early '98. There, that  
15 fabrication is the MPCs. It does not include rail  
16 transportation casks or storage modes.

17           The important part of this is to get NRC  
18 certification. These casks in the procurement specifications  
19 rely heavily upon the experience that we have had both with  
20 the M&O and in previous lives certifying transportation  
21 casks. So, this is pretty standard requirements on both 71  
22 and 72. But, we have, besides obtaining certification for  
23 both transportation and storage under those two NRC  
24 regulations, we have included in the design procurement  
25 specifications the need to be compatible with disposal. To

1 the best of our understanding of the requirements now, we've  
2 included specifications which we believe would allow us to  
3 utilize the MPC and its multi-purpose function and to  
4 eventually obtain a license as it's part of the waste  
5 package. That is not part of this procurement.

6           The prescriptive requirements, our plan on the RFP  
7 was to use performance based specifications to allow the  
8 vendors to achieve design solutions based upon their  
9 experience. We have included specific requirements in there  
10 that go to these characteristics, which I'll talk about, in  
11 order to expedite licensing and also to improve the desire  
12 for compatibility with disposal.

13           Again, we're going after complete systems. We're  
14 going to license it under NRC's Part 71 for this  
15 transportation cask. We are forcing the vendors to rely on  
16 the American Association of Railroads. You'll probably hear  
17 some more about that later. That goes to both the design and  
18 the fabrication.

19           Dick Hannon, this morning, used the word  
20 "everything has a story; every reactor has a story". They're  
21 all unique. We expect these kind of ranges with regard to  
22 which reactors will use which MPC system. We have detailed  
23 information on all 121 sites. It doesn't necessarily change  
24 day-to-day, but it does change as the various reactors see  
25 what an MPC is and what benefit it is to them.

1           Again, the large is less than 125 tons. We think  
2 there's margin there that they'll come in considerably lower.  
3 The 75 tons, the small, we think the 75 ton limit is a  
4 restrictive limit. We have placed restrictions--this is  
5 shorthand--with regard to the rail car in the specifications.  
6 We believe there's a possibility on the 4 axle car, but  
7 that's a design solution that the vendors will work. We put  
8 maximum dimensions on these MPC transportation casks for  
9 handling both the loading pit and the ability to get it on  
10 and off rail cars and to get it in and out of airlocks. So,  
11 these specification are specified in the RFP.

12           We have a design basis fuel specified in the MPC  
13 that goes to enrichment, burnup, cooling time. The one there  
14 that says large and small MPCs, our jargon is 80%. It  
15 nominally will carry 80% of the fuel that's obligated to be  
16 picked up in the first 10 years. Our enhanced fuel  
17 specification is for the remainder of the fuel. We are  
18 targeting or optimizing on the 80% number. We also recognize  
19 we have an obligation for about 2% of the fuel to stainless  
20 steel clad and we've included that requirement in there for  
21 design study. But, the large and small systems will be built  
22 to those middle requirements.

23           This is pretty standard stuff; the 30 foot drop,  
24 the puncture test. The MPC again is the basket for the  
25 transportation cask. So, it has a unique requirement on it

1 that you might not otherwise have if it was just a canister.  
2 The criticality requirements have been added to take credit  
3 for only 75% of the neutron absorber or, in inverse, we've  
4 required 25% extra neutron absorber because of the long-term  
5 potential for depletion in the repository.

6           On the one we just went by, note that the large PWR  
7 assembly MPC system requires burnup credit. Bill Lake will  
8 address that in detail in a little bit.

9           The dose rate requirements of Part 71 are up there.  
10 They're pretty standard. We do require an ALARA evaluation  
11 on the MPC surface lid which is somewhat unique compared to  
12 Part 71.

13           Disposal interface requirements are shown on this  
14 slide and the one I'd call your attention to is the thermal  
15 where we have specified a maximum of 14.2 kW to be in the  
16 MPC. We have some bounding work done by the repository  
17 experts that established the 225 degree surface temperature  
18 limit and a 14.2 kW package limit and we require our vendors  
19 to work back from those and show they meet the 350 max clad  
20 temperature.

21           On the materials, the one that got some eyeballs  
22 raised was on the no lead requirement with regard to the  
23 shield plug. We don't consider lead a RCRA material, but it  
24 might become an issue with regard to the repository, but we  
25 do consider it a potential RCRA material if this MPC didn't

1 work and if we had to dispose of it in shallow land burial.  
2 As a waste material, we might have to not only take on the  
3 RCRA issue, but the mixed waste issue.

4           The other requirements that are specified in the  
5 specifications just for the transportation casks are about 28  
6 pages, go to intermodal capability, we expect to move lots of  
7 material by barge, has to be compatible with storage, has to  
8 be equipment intensive, use equipment rather than people and  
9 procedures. The option for full-scale testing is put in as a  
10 potential for Phase 3. Susan said we don't know yet what  
11 full-scale testing is. So, in this option, we specified it  
12 as a subset of the regulatory test. I think the one that was  
13 missing was the 200 meter submergence.

14           Greg Smith will talk to you later about the human  
15 factors and system safety.

16           I'll entertain questions?

17       DR. CANTLON: I may have not followed you correctly. I  
18 thought you said that when these were delivered to the  
19 utilities, they would be without transportation and storage.

20       MR. CLARK: If I did, I misspoke. We will deliver MPCs  
21 to the utilities for storage at the sites. The obligation  
22 for the storage mode and the transfer device to move it to  
23 the storage mode will be the obligation of the utilities.  
24 When we go to obtain the MPCs for interim storage or  
25 repository, it will be our obligation to send the

1 transportation cask.

2 DR. CANTLON: Is there enough uniformity in terms of  
3 cask transporters around the utilities so that they don't  
4 have to go out and purchase new ones?

5 MR. CLARK: I'll know in October.

6 DR. CANTLON: Thank you.

7 MR. CLARK: That is one of the areas people have been  
8 volunteering interest in. So, I think the answer is probably  
9 yes.

10 DR. PRICE: You mentioned 1/4 scale testing and 1/2  
11 scale testing. Does that include the thermal tests, the 1475  
12 degree? If so--

13 MR. CLARK: No, it does not.

14 DR. PRICE: If so, why; and, if not, why not? Or why?

15 MR. CLARK: These specifications for the 1/4 scale test  
16 were driven by the idea that in order to support design by  
17 analysis, we might have to expedite licensing by doing some  
18 structural work and those tests that I talk about are focused  
19 on the drop test aspects. I don't know. Maybe Bill could  
20 speak to this, any concern of the Commission's with regard to  
21 the thermal.

22 MR. LAKE: The NRC generally accepts thermal analysis as  
23 a means of demonstrating compliance with the regulations.  
24 Thermal analysis is better behaved, if you will, than some of  
25 the structural analyses because of the change from elastic to

1 plastic. And, buckling phenomena and things of that sort  
2 makes it much more difficult to do structural analysis. And,  
3 that's why NRC feels more comfortable with the verification  
4 tests.

5 DR. PRICE: Okay. I think we--just one comment if you  
6 could give it on--because you didn't mention it. I wish you  
7 would and so I'm going to ask you; no credit for moderator  
8 exclusion?

9 MR. CLARK: Yes, I'm sorry, I didn't. I thought that  
10 was--I went by it in the quickness. We don't take credit for  
11 moderator exclusion with regard to transportation because  
12 it's been traditional not to. And, the regulator/reviewer  
13 who we know very well, we would engage in difficult  
14 conversations. With regard to storage, it's been traditional  
15 to do it and the vendors will probably do that. With regard  
16 to disposal, our evaluations do not take credit for moderator  
17 exclusion. But, on the focus of transportation, we do not  
18 take credit for moderator exclusion.

19 DR. PRICE: Thank you.

20 DR. CHU: On the number of reactors that could not use  
21 MPC, your latest estimate is that they could be maybe only as  
22 few as four reactors that wouldn't be able to use it. Is  
23 there a typical constraining factor in these that--

24 MR. CLARK: No. The reality is that every one of these  
25 has a story whether it's loads, cranes. We have a cheat

1 sheet where we keep track of which reactors this day or in  
2 which category. And, Indian Point 1 and Ginna are probably  
3 the more difficult ones that we would face. They're  
4 constrained both by the airlock or the loading patterns on  
5 the pool.

6 DR. PRICE: All right. Thank you.

7 I think we'll take a break now and try to come back  
8 on schedule at 2:55.

9 (Whereupon, a brief recess was taken.)

10 DR. PRICE: Gentlemen and ladies, I'd like to direct  
11 your attention to the schedule that we have. What we're  
12 going to do is eliminate the next break at 3:55 in order to  
13 provide for more time for comments from the public and also  
14 because we need to be sure to meet the 5:15 dismissal time.  
15 The hotel has another group coming in here right after us and  
16 they do ask us at this dismissal time if we would hold our  
17 conversations outside the room so they can begin to prepare  
18 the room for the next meeting. So, they're running a tight  
19 ship; so, we'll try to accommodate them by being careful of  
20 that 5:15 time. So, we will eliminate the 3:55 break and go  
21 straight through from here on. There's only one speaker  
22 after the break and I think that's a reasonable thing to do.

23 Now, we'll have Bill Lake give us some things about  
24 burnup credit and perhaps a summary of what we've heard, so  
25 far.

1           MR. LAKE: Just in way of introduction, I'm going to  
2 tell you a little bit about burnup credit, what it is, a  
3 definition basically, and why we're seeking it. And, I want  
4 to talk a little bit about what sub-criticality is and the  
5 assurance of sub-criticality in transport casks. That's an  
6 important piece of background before we discuss burnup credit  
7 in detail. I want to talk a little bit about the current  
8 OCRWM strategy to incorporate burnup credit into our  
9 transport systems. We've discussed the issue for a number of  
10 years and the overall burnup credit issue and we've  
11 identified four major issues that need resolution at this  
12 point and I'll discuss those in some detail.

13           To begin, burnup credit basically recognizes and  
14 uses the decreased reactivity of spent fuel in demonstrating  
15 sub-criticality. Three things contribute or three factors  
16 contribute to this decrease in reactivity. As fuel is burned  
17 in a reactor, there's a net decrease in the fissile material  
18 which is necessary for criticality. There's also a  
19 production of actinides which are produced in the fission  
20 process which are neutron absorbers. Neutrons are integral  
21 to the criticality process while these new isotopes absorb a  
22 lot of those neutrons and reduce reactivity. Another thing  
23 that's produced during the nuclear process are fission  
24 products. These are maybe about 240 of them. We've found  
25 about a dozen which are very effective. Again, neutron

1 absorbers, they decrease the reactivity of the system. The  
2 three factors contribute about equally to the reduction in  
3 reactivity.

4           Why are we doing it? Well, burnup credit is a  
5 factor in increasing the capacities of casks and the MPCs.  
6 We'll explain this a little bit later. It's not a one-to-one  
7 factor. It's a little bit indirect. The NRC rules allow the  
8 use of burnup credit; that is, there would be no rulemaking  
9 requirement to use it, but we do have to work against a long  
10 history of practice. And, finally, the point I'd like to  
11 make is that burnup credit can be used without reducing  
12 safety. We use all the same safety margins that are used  
13 under current practice.

14           Okay. The first thing in discussing assurance of  
15 sub-criticality is to look at that  $K_{eff}$  which was mentioned  
16 earlier. That's basically a measurement of criticality or  
17 another way to say it is the measure of the neutron  
18 population growth. If population of neutrons from one  
19 generation to the next is one, we say that the system is  
20 critical and that's a self-sustained nuclear reaction.  
21 That's what you achieve at a reactor. We're seeking sub-  
22 criticality; so,  $K$  needs to be less than one. Another factor  
23 that we won't discuss is super-critical with  $K$  above one.

24           How do we design these criticality safety systems?  
25 First of all, we can control criticality by a number of

1 different methods. One is by limiting the fissile material.  
2 We're looking at multi-element casks; so, that's kind of out  
3 of the question. The other thing we can do is we can take  
4 care of the neutron population by effecting the geometry;  
5 remove the fuel far apart and so on. That's also difficult  
6 since we've got a limited space to work in.

7           Now, the other things that we can do is we can  
8 introduce neutron absorbers into the system. With spent  
9 fuel, we already have some internal neutron absorbers, but if  
10 you remember, Don talked about the baskets or the fuel  
11 support structure. Well, they had some neutron absorbers in  
12 them. That's one method.

13           Now, one thing I'd like to point out is we're  
14 talking about light water reactor systems. So, the first  
15 thing you really need is water and these are dry casks. So,  
16 of course, we preclude water; yet, we design the system as if  
17 water were in it. So, it's a double contingency for safety  
18 there.

19           On the regulatory requirements, basically the  
20 transport requirements say that you have to maintain a  
21 subcritical system. That is  $K$  less than one with some sort  
22 of margins for uncertainty. Practice has been that we design  
23 for a  $K_{eff}$  of .95. That's a 5% criticality safety margin.  
24 This is not a linear system. So, that's a significant  
25 margin. The other thing about the practice is practice has

1 been to assume that the fuel is absolutely fresh. It's a  
2 fairly easy calculation to do and that's why it's very  
3 comfortable. In the past, that's been easy to do because  
4 gamma shielding requirements and heat loads actually  
5 constrained you before you got to criticality. Now that  
6 we're shipping older fuel, criticality becomes a constraint.  
7 So, now, it's worth pursuing this.

8           I've already mentioned that we assume that water  
9 floods the system when we do the calculations. Criticality  
10 is demonstrated by calculation, but I would like to point out  
11 that it's always compared to an experimental benchmark. Let  
12 me say, the crucial point to look at is the critical point;  
13 that is,  $K$  is equal to one. So, experiments are done for a  
14 system that  $K$  equal to one and the analyst has to demonstrate  
15 that his or her calculations can do that adequately and then  
16 adjust the calculations accordingly. But, for that, we  
17 always assume that there's water in the system because you  
18 can't have a critical system without water.

19           Fuel baskets and flux traps, this has to do a  
20 little bit with capacity, as well. The fuel basket basically  
21 contains the external poisons for these multi-element  
22 systems. Boron is a good neutron absorber or poison. The  
23 concept of a flux trap basically takes, instead of a single  
24 plate between fuel assemblies, you take two plates with a  
25 small space. The concept is to enhance the capability of

1 these neutron-absorbing plates by having a space. Now, if  
2 the system were filled with water, that space would also be  
3 filled with water. So, that's a moderator that can slow some  
4 of the fast neutrons to the thermal level where they can be  
5 absorbed by the plates more effectively and that's the  
6 concept of a flux trap. Now, the down side of a flux trap is  
7 they're difficult to design from a structural standpoint and  
8 they also take up a lot of space. You've got to add an extra  
9 half inch/quarter of an inch between each assembly for space.

10           Now, since we've decided to pursue burnup credit  
11 and we're getting into a very tight schedule on MPCs and it  
12 could be very costly if it turns out we can't get burnup  
13 credit and design for it, we're really seeking an early  
14 decision from the NRC. We've done sufficient work ourselves  
15 to convince us that burnup credit is technically feasible and  
16 we can do a good job with safety, but we still need an NRC  
17 certification on that.

18           One thing that we've decided to do is rather than  
19 just attach these criticality arguments to the NRC  
20 applications is to go in with a topical report. There are  
21 many things associated with burnup credit that are just  
22 generic issues that would apply to all different  
23 applications. When you finally get down to it, of course,  
24 the final cutting edge would be design-specific. So, that  
25 would have to go in with the individual safety analysis

1 reports. We've had four technical exchanges since we've  
2 decided to go this topical report route, four exchanges with  
3 the NRC. That's been very effective in informing them of  
4 what we've done and getting feedback from them.

5           Now, here are the key issues that I've promised you  
6 and I've got detail on each one of these. One is the axial  
7 burnup profiles. The second issue is the benchmarking of  
8 actinide and fission product inventories. I'll get back to  
9 that. The third one is benchmarking criticality analysis  
10 methods. We've got a lot of history of doing the  
11 benchmarking of criticality analysis methods because we do it  
12 for fresh fuel. We're adding something new when we go into  
13 spent fuel. The second bullet, the benchmarking of actinides  
14 and fission products, of course, with the fresh fuel assembly  
15 we've got the fuel specifications. So, the analyst can just  
16 use that. When we deal with spent fuel, we need to have a  
17 predictive capability to know the inventories of these  
18 neutron absorbers and fissile materials. But, in order to do  
19 those calculations in the way we've done them in the past in  
20 criticality, we need to benchmark those activities. The  
21 first three address the calculational and design aspects and  
22 the third one is when you finally load the cask. We will be  
23 depending on reactor records for the histories of the fuel  
24 assemblies and so on, but we'll also be verifying those  
25 records through a measurement.

1           The first one I'll address is the axial profile and  
2 let me--in the interest of time, let me just go through this.  
3 Basically, we're only looking at burnup credit for PWR fuel  
4 which is fortunate. They've got the nicest profiles. The  
5 biggest thing that generates this non-uniform profile was the  
6 fact that you've got end effects. You get leakage of  
7 neutrons out the end of the reactor and there's no way you  
8 can get around it. There are other distributions which are  
9 taken care of by moving the fuel during its lifetime in the  
10 core of a reactor, but you can't take care of the end  
11 effects. That's just here; it's a given. We've  
12 characterized the end effects and we've developed techniques  
13 to show that we can account for them in the criticality  
14 analysis.

15           This is an example of an axial profile for PWR fuel  
16 assembly and basically what this is is the burnup. And, if  
17 you took the compliment of that, that would be, more or less,  
18 a reactivity curve with the ends being more reactive. And,  
19 it's about the first 10 to 12 inches that really has that big  
20 dip, but it's even on both ends. So, it's pretty easy to  
21 deal with and it's fairly characteristic from one run to the  
22 other. We're now developing a database of assembly profiles  
23 to develop that concept.

24           As I said before, this is a new factor that we  
25 introduce into criticality analysis; the consideration of

1 actinides and so on and we do have to do chemical assays of  
2 that. I would point out, though, that the NRC and analysts  
3 are not unfamiliar with the prediction codes that develop  
4 these materials because we use them for shielding. We have  
5 not used them for criticality in the past. So, since we are,  
6 we do need to benchmark these. We've done the selected  
7 materials that we'll be using. All the fissile materials  
8 have been chemical assayed and the dozen or so fission  
9 products will also be assayed. We'll only use fission  
10 products that we have, in fact, assayed.

11           Finally, we'll look at the benchmark criticality  
12 analysis methods. The NRC and all analysts are familiar with  
13 the fresh fuel critical experiments. Those will be important  
14 factors in the burnup credit case, as well, because we've  
15 done things like different basket materials and different  
16 configurations, flux traps, and so on, and their effects on  
17 criticality analysis.

18           There are some mixed-oxide critical experiments.  
19 These are important because they pick up the effect of the  
20 actinides, both the fissile materials and the actinide  
21 poisons. They don't pick up the fission products, though.  
22 Now, there's one good experiment with gadolinium which  
23 happens to be a fission product that's a very effective one  
24 and that we plan to use. A well-characterized experiment, a  
25 laboratory type experiment, has been done with that.

1           And then, finally, we get down to how we're going  
2 to look at the other factors that affect spent fuel. For  
3 that, we've decided to use reactor restart critical data as  
4 an implant experiment, if you will. Now, there's one  
5 shortcoming to that which I'll very briefly discuss and that  
6 is a restart critical happens to be done at a fairly high  
7 temperature. Spent fuel, a critical experiment for a cask  
8 would--you'd want to do it at a low temperature around room  
9 temperature. However, we feel this can be corrected for.  
10 We've got other experiments and other experience that would  
11 enable us to do that.

12           Finally, one of the end products of the analysis  
13 for spent fuel cask is to develop what's called the loading  
14 curve and you see the x-axis basically is the burnup level  
15 and the y axis--the x-axis is the initial enrichment. And,  
16 this is very much design-specific. It's specific to the fuel  
17 design and the cask design. The approach, of course, is to  
18 find the most reactive fuel configuration of everything that  
19 you want to ship in a given cask and develop one curve rather  
20 than have a collection of them. And, it's fairly simple to  
21 read. What you need to do is only select fuel that has  
22 higher burnup and lower enrichment than the curve; those are  
23 acceptable. Ones with lower burnup or higher initial  
24 enrichment could not be loaded into the cask.

25           Finally, we get into the implementation. If there

1 is approval and when there is an approval that may be more  
2 positive, we eventually have to load these casks up. And, as  
3 I said earlier, we will rely on the reactor records, but we  
4 do want to verify those with a measurement. The measurement  
5 that we've identified is--we feel is suitable to this type of  
6 application, it's not an absolute burnup measurement. It's  
7 clearly a verification and we'll see that a little bit later.  
8 The method is called the FORK detector. It's been used by  
9 the International Atomic Energy Agency in safeguards  
10 application to verify nuclide inventories. I've learned  
11 recently that it's also been used in France for burnup  
12 credit. They have, in fact, used a lot of our work and some  
13 of their own. I don't want to claim too much of it. But,  
14 they have, in fact, started to use very limited burnup  
15 credit, I understand, and they do use the FORK detector as  
16 one of their techniques.

17           Another thing we like about the FORK detector, it's  
18 a passive device. It measures gross gammas and gross  
19 neutrons, both. So, it's kind of a double check, as well.  
20 And, we have done, at least--we've done one test at a nuclear  
21 facility for this type of application. It's been used all  
22 over the world for a number of years on safeguards  
23 applications.

24           This is a not so good picture of it, but you can  
25 get an idea. The FORK itself is on the left hand side and

1 it's about this big and you can actually carry it around.  
2 The instrumentation to work the data and resolve the data  
3 into information that you need for loading is shown on the  
4 right hand side. This is a schematic of how you would use  
5 it. It basically is moved down with a crane. An assembly is  
6 taken out of the storage rack and the concept here is just to  
7 put it around the mid-section and get a neutron and gamma  
8 count data. It takes about five or six minutes to set it up  
9 and a few seconds actually to get your reading. So, it's  
10 very effective and minimally intrusive on the utility.

11           This is an example of the neutron counts versus  
12 burnup and this is, of course, resolved data from the  
13 collection and this is the one I was talking about in terms  
14 of a verification. These are not really absolute  
15 measurements. This is a neutron count versus the reactor  
16 data on burnup. And, if everything is correct and we show  
17 consistency, all those circles, squares, and so on will line  
18 up on a straight line. In this particular test at Oconee,  
19 they found two that are actually on top of each other off to  
20 the upper left. And, basically, the approach would be to  
21 resolve those and find out why they're different, to find out  
22 why they have different counts, and if you can't do that, it  
23 would be loaded into a non-burnup credit cask. They have not  
24 yet resolved what those differences were. They feel that it  
25 probably was a neutron source or something. But, this was

1 not for loading applications. So, they could not spend the  
2 time to go back and try to resolve that.

3           The summary, basically, I believe the key technical  
4 issues, the four that I mentioned, have been identified and  
5 we plan to work with the NRC and we hope that they will  
6 review and approve the burnup credit in the near future.  
7 We're looking at a tight schedule which I'll show you in a  
8 few minutes. I believe burnup credit can be used without  
9 reducing safety. We use the same safety margins. The  
10 calculations will contain biases and uncertainties related to  
11 calculations, measurements, and so on that we do with the  
12 fresh fuel assumption. And, finally, burnup credit can  
13 eliminate the need for flux traps which increases capacity,  
14 simplifies cask designs, and things of that sort.

15           This, of course, is our schedule. We have a group  
16 working in Virginia right now trying to put together the  
17 topical report which we plan to submit to NRC by the end of  
18 September. We've asked the NRC, and they haven't said no and  
19 they haven't said yes, to work very rapidly on this in  
20 accelerated pace and give us an approval for the topical by  
21 late 1995. The topical, I remind you, that gives us a  
22 methodology and would approve certain generic aspects of  
23 burnup credit. It would still allow the NRC and require the  
24 applicants to show that burnup credit for their particular  
25 cask was appropriate. The reason, of course, we're looking

1 at the tight schedule is to provide information to MPC and  
2 the vendors are expected to submit SARs in early 1996.

3           A fourth item that I didn't talk about, at all,  
4 today has to do with the MPC. Eventually, the MPC will be  
5 part of a disposal unit and that's another effort that we've  
6 --this transport group on burnup credit is working with the  
7 repository group to look at the long term aspects of burnup  
8 credit as part of the criticality control system. That ends  
9 my presentation.

10       DR. PRICE: Questions from the Board?

11       DR. CANTLON: You mentioned the difference in burnup  
12 credit within the reactor. Isn't there also a difference  
13 from top to bottom on the fuel rods?

14       MR. LAKE: Oh, yes, that's what the actual profile was.

15       DR. CANTLON: I thought that was--

16       MR. LAKE: Oh, you mean--

17       DR. CANTLON: Yeah, you gave us the actual one which is  
18 a distance from the center out, but isn't there a top to  
19 bottom within the individual fuel rods, as well?

20       MR. LAKE: Oh, no, that was top to bottom. That wasn't  
21 mid to end.

22       DR. CANTLON: Oh, all right.

23       MR. LAKE: Yes.

24       DR. CHU: On that last chart, the schedule, where you  
25 put down the dates that you would like to have certain things

1 happen, what are the contingencies if some of those dates  
2 aren't met? Then, either your desired dates for the MPC  
3 deployment may have to slip or you need to come up with some  
4 alternative for the canister design in order to meet the 1998  
5 date. So, could you elaborate on that?

6 MR. LAKE: Okay. I guess, is your question having to do  
7 with how we'd adjust burnup credit or just the MPC part of  
8 it?

9 MR. CHU: Well, no, my question is that there are two--  
10 the program has two independent requirements, one of which is  
11 to meet a 1998 date for deployment of MPCs. The other one is  
12 to try to incorporate burnup credit into the canister. And,  
13 if the schedules on your last chart are met and you still  
14 want to meet your 1998 date, what is your contingency?

15 MR. LAKE: Oh, okay, yeah, I see the question. Again,  
16 we're developing many, many MPCs and again there are two  
17 MPCs, the 75 ton and the 125 ton. We're only using burnup  
18 credit for the 125 ton and for PWRs. So, one approach--and,  
19 we're looking at the impacts of this right now. One approach  
20 is if we're convinced it's going to take too long to meet  
21 these schedules to get burnup credit approval, we'd have to  
22 look at--the most obvious contingency plan would be--or the  
23 two most obvious would be either to delay the large MPC and I  
24 don't think we want to do that or to come in with an  
25 underloaded system. A third alternative, of course, is to

1 look at moderator exclusion. If we're going to store in '98,  
2 but not ship, we could meet the storage requirements by  
3 moderator exclusion; basically, put the storage system away  
4 from water and load it in the borated pool and then work  
5 towards later approval of burnup credit for transportation.

6 DR. CHU: You haven't decided on any one of these  
7 approaches?

8 MR. LAKE: No, no. We're evaluating them and we need to  
9 look at what the impacts are in--I think what we're going to  
10 do really is to keep it as a living evaluation because things  
11 could change very rapidly and we need to be able to respond  
12 to those and make good decisions.

13 DR. DI BELLA: Do you plan to get any additional new  
14 physical data to support your burnup application to NRC?

15 MR. LAKE: At present, we believe we've got sufficient  
16 data to cover what we need to show NRC, but we are looking  
17 into some other types of things, some other experiments, and  
18 that. But, there are no commitments on those at this point.

19 DR. DI BELLA: Thank you. I have a second question  
20 relating to certification, too, and this goes back actually  
21 to Steve Gomberg's talk where he presented a schedule showing  
22 for the GA-4/9 cask, a two year certification period from  
23 submission of the safety analysis report, and yet a much  
24 shorter period--I think, a 12 or 15 month period for  
25 certification of the MPC. Could you explain the reason for

1 that or could someone explain the reason for that;  
2 differences and how long it would take to certify one versus  
3 certifying the other?

4 MR. LAKE: Okay. Although we believe we've given enough  
5 information to the NRC on the GA casks to show that they are,  
6 in fact, conventional, just higher capacity, the original  
7 thought was that we had a lot of innovative types of design  
8 features on the GA cask. So, we decided on our initial  
9 planning to give the licensee or the contractor a two year  
10 period to get approval. We saw no reason to change that  
11 schedule. It's a comfortable schedule. It's not accelerated  
12 and it's actually a lot easier to plan. It will be a little  
13 bit more difficult with MPC with a tight schedule, but on the  
14 other hand, we're suggesting even more conventional  
15 approaches, more conventional materials, conventional shape.  
16 You know, the GA cask was not circular. We may require  
17 additional analyses on that and things of that sort.

18 DR. DI BELLA: Thank you.

19 DR. PRICE: Okay. Thank you very much, Bill. I  
20 appreciate it.

21 MR. LAKE: Thank you.

22 DR. PRICE: Our next speaker is James Daust with the  
23 Commercial Vehicle Safety Alliance on their enhanced  
24 inspection program.

25 MR. DAUST: I'm happy to be here today to represent the

1 Commercial Vehicle Safety Alliance or CVSA, as I will refer  
2 to it. I want to give you a brief explanation of our  
3 cooperative agreement and the enhanced inspection procedures  
4 that we are presently using.

5 CVSA is an organization of Federal, State, and  
6 Provincial Government agencies and representatives from  
7 private industry in the United States, Canada, and Mexico  
8 depending upon the jurisdiction in each state or--not  
9 necessarily the Canadian Government because all their  
10 provinces are represented--but it could be State Police,  
11 Highway Patrol, Public Utility Commission, and so on. We  
12 have 49 states that have entered into an agreement with CVSA  
13 and signed a memorandum of understanding, all the Canadian  
14 provinces, as well as Mexico. They have agreed through this  
15 MOU to abide by the inspection criteria and procedures that  
16 have been developed by CVSA for vehicle, cargo, and their  
17 drivers.

18 CVSA goals are to enhance the safety of commercial  
19 vehicles, improve commercial vehicle safety operation,  
20 minimize schedule delays, insure effective allocation of  
21 resources, and avoid duplication with reciprocity of  
22 inspections by use of the CVSA decal. The ordinary CVSA  
23 decal is a 90 day colored decal which is issued by quarters  
24 and is covered for a 90 day period.

25 In 1986, we entered into a cooperative agreement

1 with OCRWM and, under this agreement, we would develop  
2 enhanced inspection procedures based on the North American  
3 Standard and you're going to be hearing me refer to that  
4 shortly which covers spent fuel transportation vehicles,  
5 drivers, and cargo. We'll conduct a pilot study to test the  
6 procedures, determine the number of inspections needed for  
7 maximum safety, train our inspectors with the ultimate goal  
8 eventually to establish uniform enhanced inspection  
9 procedures that will be honored by all the states.

10           Under the North American Standard, which CVSA is  
11 best known for, developing uniform inspection procedures that  
12 is applicable in the North America, applicable to all motor  
13 carriers that are inspected by a CVSA member. They include  
14 brakes, steering, tires, wheels, driver qualifications, and  
15 cargo securement among the items covered. Changes are made  
16 to this North American Standard on an annual basis. They are  
17 then approved by DOT which is, more or less, a matter of  
18 rubber stamping because DOT is very involved in the actual  
19 workings of the committee of CVSA. So, when, in fact, they  
20 go to DOT, they are, more or less, rubber stamped. They are,  
21 in fact, then legal mandates.

22           Under the enhanced North American Standard, we will  
23 do at a minimum inspection at point of origin and  
24 destination. Now, under the enhanced standard inspections--  
25 and, I want to use an example here--under the North American

1 Standard, if you have brakes 20% or more on a vehicle that  
2 are out of adjustment, that vehicle is placed out of service.  
3 Under the enhanced North American Standard, no brakes can be  
4 out of adjustment. So, that is the difference and that is a  
5 big difference under the enhanced as opposed to the North  
6 American Standard. Shipments do not leave the point of  
7 origin until they are defect free by the standard that CVSA  
8 has developed. And then, we issue a special decal which you  
9 have a brochure in front of you which depicts the decal that  
10 is used. Now, the difference between the enhanced North  
11 American Standard decal and the regular decal is that this is  
12 only good for that one shipment. So, it's issued and put on  
13 the vehicle at the point of origin, such as right here at the  
14 cesium shipments when they leave Colorado, and then it's only  
15 good for that one shipment into Hanford. Now, based on the  
16 trip duration and the data collected from trial inspections,  
17 shipments may or may not be inspected enroute.

18           Now, one of the important elements of our  
19 cooperative agreement is to develop a special training course  
20 for our inspectors and that's the ENAS inspectors. We  
21 believe CVSA does play a major role in alleviating public  
22 fears regarding transportation of radioactive materials and  
23 the training program certainly is important. The course  
24 consists of classroom and practical exercises including the  
25 review of basics of radiation and radiological regulations

1 and radiological survey instruments and their use in  
2 transportation inspection. The enhancement, of course, is  
3 covered to the North American Standard. We do a refresher on  
4 driver impairment followed by instructions on the use of our  
5 pilot inspection form and then a practical exercise and  
6 inspection is done of a mock spent nuclear shipment. The  
7 course concludes with a review, testing, and a course  
8 critique. Now, in order for inspector to attend this  
9 particular course, the prerequisite is that they, first of  
10 all, be CVSA Level 1 certified inspector which is the  
11 standard inspector that you would have for motor carrier  
12 operation and they also must be HAZMAT certified, as well.

13           Now, the training courses conducted to date, we've  
14 had four training courses held to date with 55 State  
15 inspectors that have been trained. Now, the pilot program  
16 was built around the WIPP shipments and, as you're well  
17 aware, the delay of WIPP caused us then to be looking at  
18 other shipments that we use for our pilot program. Well,  
19 fortunately, for us, the cesium shipments came along and  
20 we're now using them in lieu of the WIPP shipments. Colorado  
21 is inspecting at point of origin; Washington, at a point of  
22 destination; and we do have some enroute inspections. The  
23 data is then sent to Battelle and processed by them which  
24 will give us some good information on what we're looking for  
25 as far as the longevity of equipment and will allow us the

1 training of our inspectors, our training, and curriculum, and  
2 so on. We're really very appreciative and happy to have the  
3 support from DOE and the carriers, as well as the  
4 participating states in the cesium transportation. As I  
5 said, this will give us valuable data to use in our pilot  
6 program.

7           The direction of the program this next year is we  
8 will be conducting at least three more training sessions and  
9 a refresher course for previously trained inspectors. We now  
10 are conducting inspections. So, it's important that we have  
11 a refresher course for those that we've previously trained.  
12 We also will be holding meetings with the Indian tribes to  
13 inform them about CVSA and the enhanced inspection procedures  
14 and soliciting their input and acceptance of the program with  
15 ultimately hoping that they will recognize the CVSA  
16 inspection and grant reciprocity.

17           We will be continuing to work on our outreach  
18 program. We have developed a videotape which is available if  
19 anyone would like a copy. It's just recently been produced  
20 by the Idaho State Police Media Center. I think they did an  
21 excellent job and it depicts what our program is all about.  
22 If you're interested, you could leave your name at the desk  
23 and I would be happy to send to you a copy of that tape along  
24 with our recently revised North American Standard enhanced  
25 inspection procedure which is available which we abide by as

1 far as the inspection program is concerned. Also, you have  
2 the brochure. We're going to update the brochure at the next  
3 printing so that we can include other than WIPP shipments  
4 because when it was produced and developed, it was built  
5 around the WIPP shipments and now we've got some other things  
6 to depict. We're going to put together a display unit which  
7 will cover the inspection program and what we intend to  
8 accomplish with it. Our theme of the inspection program is  
9 as what's on the videotape and that is safety and efficiency  
10 in the transportation of radioactive materials.

11           So, again, I'm very happy to be here to give you an  
12 update and tell you where we're at with our CVSA inspection  
13 program. We appreciate the support that has been given to us  
14 by OCRWM and DOE and we look forward to continued cooperative  
15 agreement.

16           Is there any questions anyone might have?

17       DR. PRICE: I understand that much of the inspection  
18 criteria, what to inspect and not to inspect, comes from the  
19 rich experience of the people who are involved in the CVSA  
20 and that, in addition to that, you're now in the process of  
21 compiling the data which will help you to determine in the  
22 future what to inspect and what not to inspect.

23       MR. DAUST: That's right. Hopefully, we can minimize  
24 the number of inspections because, as you are well aware,  
25 there are some states that will be inspecting shipments as

1 they come in at point of entry. Now, if we can show through  
2 our pilot program that at point of origin and point of  
3 destination there's been no significant change in that  
4 equipment, the driver, and the cargo, as far as our  
5 inspection is concerned, we hopefully then can alleviate some  
6 of the inspections which will move the product along a lot  
7 faster and get it to its destination faster.

8 DR. PRICE: Any questions?

9 (No response.)

10 DR. PRICE: Thank you very much.

11 MR. DAUST: You're very welcome.

12 DR. PRICE: Our next presenter is Greg Smith from TRW on  
13 human factors engineering implementation plan.

14 DR. SMITH: This afternoon, I'd like to provide you with  
15 some information on how we are currently implementing human  
16 factors in the transportation program.

17 First, I'd like to give you an overview of the  
18 transportation system human factors implementation plan and  
19 then provide you some specifics of human factors  
20 implementation in the MPC program. My comments today about  
21 human factors in the MPC program will be much briefer than I  
22 would like, but as Mr. Clark has pointed out, we have the RFP  
23 out on the street and we have to avoid interpretation of the  
24 information that we have in the RFP. Finally, I'll close  
25 with a description of future human factors work.

1           The transportation system human factors  
2 implementation plan was delivered in September 1993. The  
3 plan provided for each of the four transportation segments, a  
4 schedule of transportation activities, and the human factors  
5 input for each of those activities. Because it was  
6 anticipated that the M&O is going to acquire much of the  
7 transportation equipment and services through RFPs, the plan  
8 indicated whether for each segment that activity would be  
9 performed by the M&O or subcontractor. The schedule in the  
10 plan went to the year 2001.

11           I'd like to digress just a moment and talk about  
12 another document that we delivered, because the topics in it  
13 have been touched on by a number of speakers today. We also  
14 delivered a human factors assessment plan in 1993. In this  
15 document, we identified human factors issues associated with  
16 each of the transportation segments and we also assessed the  
17 applicability of the WIPP transportation system to the needs  
18 of the CRWMS.

19           Specifically, we reviewed WIPP's driver training  
20 plans, their driver certification plans, their database of  
21 planned highway construction for the WIPP routes. We looked  
22 at the issues concerned with safe havens, contingency  
23 planning, capability for continuous communications, the  
24 availability of emergency responses and resources along the  
25 WIPP routes. We also looked at problems associated with the

1 driver work/rest schedules or cycles and the hours of service  
2 restrictions. We looked at and evaluated 18 national and  
3 state transportation databases for applicability to the CRWMS  
4 driver briefing and debriefing. So, I wanted to show you  
5 that we are trying to use some of the lessons learned out  
6 there in building the transportation system.

7           Now, I mentioned then the implementation plan that  
8 each activity--we identified which activities or which tasks  
9 will be performed by the M&O and which would be performed by  
10 the subcontractor. So, for human factors, as is going to be  
11 true for any other discipline, is going to be implemented in  
12 one of two ways in the transportation system. Either the M&O  
13 is going to do the work or some subcontractor is going to do  
14 the work with the M&O reviewing and evaluating that work. If  
15 the subcontractor performs the work, then the human factors  
16 is going to be implemented to the requirements that are  
17 placed in the RFP.

18           As you heard earlier, Mr. T.C. Smith talked about  
19 the Legal Weight Transportation System. That and the MPC  
20 program, these are two of our current efforts and they are  
21 examples of subcontracted work. Both of these programs are  
22 using RFPs to acquire equipment and services. Since T.C. has  
23 already presented the Legal Weight Transportation System  
24 human factors aspects, I'd like to next move on to the MPC.

25           While the remaining part of this presentation is

1 concerned with the MPC program, we anticipate that we're  
2 going to be using the same model for the remaining--for all  
3 the rest of the subcontracted work. I'd also like to mention  
4 that systems safety has the same sort of requirements in this  
5 RFP as does human factors.

6           The MPC RFP requires a human factors specialist and  
7 requires that specialist to complete the tasks that are  
8 listed here; performing the task and skill analysis,  
9 identifying features that increase efficiency, increase  
10 safety, decrease maintenance time. The specialist will  
11 provide design input and will review and comment on the  
12 design. Let me caution you that these tasks are not  
13 exhaustive; they're only examples.

14           The RFP also requires a human factors report so  
15 that the human factors work can be documented and reviewed.  
16 The report should cover the entire system, describing  
17 incorporation of the human factors principles, describe those  
18 features important to human factors, and document all  
19 analyses that are performed. Again, these topics are not  
20 exhaustive, but only examples.

21           The MPC has three subsystems and there are specific  
22 human factors requirements in each of those subsystems.  
23 There are many more than are listed here. These are only  
24 examples. I note, though, in the first requirement that this  
25 requirement was not necessarily invoked by human factors

1 only; it could also be--well, it would be invoked by human  
2 factors because we will reduce the excessive number of tools  
3 and increase the efficiency of the operation, but also  
4 logistics might invoke this requirement because it reduces  
5 the number of required spares.

6           However, the second requirement where it concerns  
7 safety, there are certain cases where we do not want to have  
8 interchangeable components. For example, we don't want  
9 technicians incorrectly connecting a fluid line to an air  
10 connection line. Again, let me caution you that these are  
11 not exhaustive; only an example and the requirements here,  
12 the topics that were listed for the report, are no more/no  
13 less important than the other requirements in the RFP.

14           So, I'll go about demonstrating the importance that  
15 we get the right requirements into the RFP because much of  
16 our work is going to be via the RFP. So, in the future, we  
17 still would be involved in evaluating the human factors  
18 portions of the MPC proposals that we get and, after contract  
19 award, we'll be reviewing and evaluating the work products.

20           DR. PRICE: Mr. Smith, I read through the MPC RFP  
21 slightly and quickly the other night when I was still working  
22 on Eastern Time. But, I did notice that the requirement for  
23 a human factors specialist was there and it was coupled to  
24 also one with experience at these types of systems. And,  
25 with many vendors, I wonder if that's not a problem and what

1 in your evaluation of whether or not the human factors  
2 specialist is truly a specialist are your criteria? For  
3 example, there are degrees now in human factors in  
4 universities, there are certifications available for human  
5 factors professionals after suitable examination and so  
6 forth. What criteria will be applied to determine that this  
7 person is familiar with that type of systems process, if  
8 they're truly a human factor specialist, not somebody just  
9 designated?

10 DR. SMITH: I don't believe I'm going to be allowed to  
11 respond to that.

12 DR. PRICE: Proprietary. You will have criteria?

13 DR. SMITH: Yes, there will be criteria to select the  
14 vendors.

15 DR. PRICE: Okay. And, whether the plan works or not,  
16 by the way, we will see when we see what comes out of the end  
17 of the pipe as whether we can really tell whether the designs  
18 are as they ought to be and so forth, the final thing.

19 Any other questions?

20 (No response.)

21 DR. PRICE: Thank you very much, Mr. Smith.

22 We're not going to observe the break, as we  
23 indicated earlier, in order to be able to provide more time  
24 for public comment and be sure we observe the closing time.

25 So, now, we're ready for Peter Conlon who is chief

1 of facility services, Transportation Test Center in Pueblo,  
2 Colorado. He serves as the Association of American Railroads  
3 technical liaison to the DOE. Peter Conlon?

4 MR. CONLON: Thank you very much. I appreciate the  
5 opportunity to be here today to talk about some concerns that  
6 the railroad industry has and has had for some time about the  
7 transportation of high-level waste and spent nuclear fuel. I  
8 have to apologize for the viewgraphs. I made them up this  
9 morning. I've been traveling for the past couple of weeks  
10 and it's taken me some time to get some consensus on these  
11 comments.

12 As you know, the Association of American Railroads  
13 is a trade association representing the railroad industry and  
14 consensus is the name of our game and sometimes that is  
15 difficult to achieve. These are the issues that I'd like to  
16 talk about today very briefly and I'm sure that many of you  
17 have heard some or all of this before, but the issues are  
18 risk management, train speed, cask performance, rail  
19 vehicles, dedicated trains, routing, uniformity of regulatory  
20 enforcement, and emergency response. I will provide written  
21 comments as soon as I can get back to the office and retype  
22 this so you can have it for your record.

23 Risk management, safe incident-free transportation  
24 of customers' shipments including spent nuclear fuel and the  
25 high-level waste is a primarily goal of the railroad

1 industry. Railroads make every effort to fully comply with  
2 the comprehensive Federal regulations that are adopted  
3 pursuant to the Federal Railroad Safety Act and the Hazardous  
4 Material Transportation Act. In addition, the railroads have  
5 developed a wide range of safety and operating rules, special  
6 instructions, and other management practices which are based  
7 on over 150 years of experience in which we've learned that  
8 if it can go wrong, it will.

9           Because of the public perception issues surrounding  
10 radioactive materials, railroads have spent an inordinate  
11 amount of time, money, and energy to manage the safe  
12 transportation of these materials. The railroads' goal  
13 regarding the transportation of spent nuclear fuel and high-  
14 level waste is to use dedicated trains at timetable speeds  
15 following a risk management plan that is mutually acceptable  
16 to the carriers, Department of Energy, and other key  
17 stakeholders. DOE in its preliminary draft transportation  
18 plan discusses a plan for stakeholder involvement in  
19 identifying transportation risks. We are concerned about the  
20 fact that the multi-purpose canister and railcar design  
21 process has already begun without first addressing the issue  
22 of risk management. If the transportation plan is to be  
23 fully effective, all risks should be identified first and  
24 plans for developing, mitigating, or managing them as a  
25 system should be developed.

1           The issue of train speed, the railroad industry  
2 believes that casks and railcars should be designed and  
3 constructed to meet conditions normally found in rail  
4 transportation. As a result of early concern about the  
5 integrity of the cask, the rail industry in 1975 adopted a  
6 set of operating restrictions to prevent a situation where  
7 the threat of a release might occur. Shipments of spent  
8 nuclear fuel from U.S. Naval facilities have also been  
9 restricted to 35 miles an hour by DOE and DOD shipping  
10 instructions. According to DOD, this is to prevent damage to  
11 the spent fuel cores.

12           It is becoming more difficult to limit the speed of  
13 trains carrying spent fuel and high-level waste casks. In  
14 recent years, rail traffic has grown and the carrying  
15 capacity of some lines has actually been reached.  
16 Restricting the speed of trains has significant impacts to  
17 the railroads' operating flexibility and impairs their  
18 ability to meet customer service requirements. Trains  
19 operating at slower than normal speeds cause scheduling  
20 problems for other trains, adds to crew scheduling  
21 difficulties because it takes longer than normal to traverse  
22 a crew district. Slowing down trains affect the railroads'  
23 ability to compete effectively with other transportation  
24 modes. Since the transportation plan we're developing now  
25 will guide shipments for the next 20 or 30 years, it's

1 imperative that the risk management plan be developed in  
2 cooperation with the railroad industry now to identify and  
3 control the risks of transporting spent fuel and high-level  
4 waste.

5           Since 1975, the rail industry has expressed its  
6 concern about the integrity of the cask in the railroad  
7 operating environment. The early controversy surrounding  
8 this issue was very contentious and had polarized the  
9 industry and the Government. A large part of the problem  
10 then was that the railroads did not believe the casks could  
11 survive a serious rail accident without a radiation leak.  
12 Questions about DOE's emergency responsibilities and  
13 capabilities were also raised. We would like to avoid this  
14 situation during the development of the new MPC system and  
15 the transportation plan.

16           The railroad industry would like to be confident of  
17 the cask's performance. We're not cask experts, we're not  
18 radiation experts; we're transportation people. The cask  
19 standards need to be described in terms that can be related  
20 to the railroad operating environment including accidents. A  
21 30 foot drop test and all the others are difficult to relate  
22 to real world operating conditions for us. Knowing the limit  
23 of safety of the cask in terms of impact and fire and water  
24 immersion is essential to gaining the industry's acceptance  
25 of the transportation plan and to the development of an

1 acceptable risk-based transportation system.

2           DOE's plan to develop a 125 ton MPC has also raised  
3 some concerns in the industry. Some railroad companies have  
4 objected to the development of the large cask, to use your  
5 term, because some branch lines and secondary routes cannot  
6 accommodate the extra weight without strengthening the track  
7 and track structures. This will limit the flexibility of the  
8 railroads throughout the shipments and may expose a shipment  
9 to greater risk if the primary route is unavailable for some  
10 period of time. Another concern about the large cask is that  
11 it is not divisible. In other words, if it goes off the  
12 track and ends up down in the gully, we have to haul it out  
13 whole, intact. Normal railroad experience allows us to cut  
14 up cars or locomotives if they're beyond reach and this would  
15 not be the case for a 125 ton cask.

16           The recent issuance of the RFP on the MPC has  
17 prompted the development of an industry committee to work  
18 closely with DOE on the draft transportation plan,  
19 environmental impact statement, MPC, and so forth. Since  
20 it's clear that DOE intends to proceed with the development  
21 of the 125 ton cask, railcar design is very important. The  
22 primary goal should be to minimize the possibility of a  
23 derailment. The process of selecting or designing a railcar  
24 should take into account several factors, such as the  
25 capability of a railcar to move through different radius

1 curves and maintain dynamic stability throughout the intended  
2 range of operating speeds. The loaded car should be able to  
3 negotiate the weight and clearance limits of all possible  
4 routes. Rail vehicle interaction should be studied to insure  
5 that the vehicle selected meets an acceptable level of risk  
6 for various operating conditions. Factors such as vertical,  
7 lateral, and longitudinal forces should be considered in  
8 analyzing train and railcar dynamics.

9           When developing a railcar to carry the MPC, DOE  
10 should also consider the design of the other cars in the  
11 dedicated train including buffer cars and security escort  
12 cars. They should all have the same performance  
13 characteristics in order to minimize the possibility of  
14 derailment. The past practice of using railroad supplied  
15 railcars as buffer cars and security escorts may not provide  
16 the desired level of risk management.

17           The railroad industry has long favored the use of  
18 dedicated train service for the movement of spent fuel and  
19 high-level waste. Such service provides for the greatest  
20 level of risk management of this sensitive cargo in our view.  
21 I'd like to list a few of the benefits for your information  
22 of dedicated train service.

23           For one, dedicated trains exclude other cargos  
24 which would limit the mechanical and thermal forces in the  
25 event of an accident. They are more manageable to operate,

1 they're easier to control. A short train can be stopped more  
2 quickly and more easily with less risk of accident. In fact,  
3 new technology, such as the newly developed electronic  
4 braking, could be used to further improve stopping ability  
5 and in the dedicated train future technological developments  
6 would be easier to implement and provide for consistent  
7 performance. Dedicated trains are easier to interchange  
8 between railroads since there is less switching required.  
9 They can provide for advanced planning for route and train  
10 movement. They allow for more precise scheduling of week and  
11 time of day. They'll encounter the fewest possible enroute  
12 delays which increases equipment turnaround and reduces the  
13 number of cars that may be needed to transport these loads.  
14 They'll enable enroute surveillance to be maintained more  
15 easily, provide for greater security of on-board escorts.  
16 And, since railroads own their own right of way, dedicated  
17 train service may alleviate some public opposition over  
18 transportation and may result in greater public confidence in  
19 spent fuel and high-level waste transportation. If DOE  
20 allows each jurisdiction to perform safety inspections,  
21 dedicated trains become a very important tool for managing  
22 the time over the road because they'll be delayed. If you're  
23 handling spent fuel and normal train service and the trains  
24 are stopped every so often for local inspections, you're  
25 going to be delaying not only your freight, but others, as

1 well.

2           Routing any shipment is a function of origin,  
3 destination, transit time, cost, and other factors. The  
4 objective is to move a shipment from origin to destination as  
5 quickly and as economically as possible. Routing decisions  
6 can be made by the shipper or the originating carrier. A  
7 shipper's specified route could be selected for a variety of  
8 reasons, such as cost, transit time, carrier preference, and  
9 perceived safety. A carrier can develop routes using  
10 computer models of the rail system and focus on such factors  
11 as weight and dimensional limits of the line, frequency of  
12 service, track class and speed, and maintenance conditions.  
13 If the destination is not on the originating carrier's line,  
14 the shipment will be interchanged with another carrier.  
15 Before the shipment begins, an agreement is made with all  
16 connecting carriers concerning the entire route and  
17 interchange points. The route will usually consist of the  
18 carrier's main lines between major points and secondary are  
19 branch lines at the origin or destination. Main lines are  
20 used for most of a railroad's traffic. Main lines are  
21 maintained to the highest quality of a railroad's tracks and,  
22 therefore, have the highest speed limits. Secondary and  
23 branch lines have lower speed limits depending on their  
24 maintenance conditions and FRA track class designation.  
25           In the event of an accident or natural disaster

1 while a train is on route, the shipment will be rerouted to  
2 the next best available road which may involve using another  
3 carrier's tracks. As many of you may have noticed during the  
4 floods last year, they may be very circuitous routes.  
5 Transporting spent fuel and high-level waste the shortest  
6 possible distance and dedicated trains over the best  
7 available track will reduce the possibility of a  
8 transportation incident occurring. The best available track  
9 is often located in densely populated areas. Routing to  
10 avoid population centers can only increase the possibility of  
11 an incident by lengthening the transit time and using lower  
12 quality track.

13           We note in the preliminary draft transportation  
14 plan that DOE plans to develop rail routing criteria for  
15 shipments in the absence of DOT rail routing regulations.  
16 The need for such criteria should be carefully considered in  
17 light of the present methods that are used for making routing  
18 decisions. The use of dedicated train service would further  
19 improve shipment planning and response to changing conditions  
20 on route. Further, a risk management based transportation  
21 plan would consider routing as one element of the management  
22 process rather than simply imposing criteria to address a  
23 concern.

24           The process of stakeholder involvement in the  
25 transportation planning process. Throughout this process

1 representatives of State and local governments and Indian  
2 tribes have focused on exercising control over  
3 transportation, primarily in the highway mode. Since there  
4 are no rail routing regulations, HMTUSA addressed the need  
5 for uniformity of regulation and enforcement efforts in  
6 connection with the transportation of hazardous materials by  
7 rail. Railroad companies are concerned about the potential  
8 for a wide variety of attempts to regulate the transportation  
9 of spent fuel and high-level waste even within the  
10 requirements of the law.

11           Rail operations require a high degree of uniformity  
12 in order to assure the safety of employees and the public, as  
13 well as compliance with the regulatory requirements. The  
14 lack of consistency between civilian and defense shipping  
15 programs is also a concern to the railroad industry. As I  
16 mentioned before, DOD-imposed speed limits cause operational  
17 problems for the railroads. The differences in current and  
18 future casks and railcar equipment may also pose some  
19 problems; operational and maintenance problems. For example,  
20 the DOD cars have the cask integral to the car and the DOE  
21 plans include having the cask where it can fall off the car.  
22 DOD requirements for moving casks at the end of a train have  
23 also been shown to result in dangerously high longitudinal  
24 forces; thereby, increasing the possibility of an accident.  
25 Uniform use of dedicated trains can resolve these problems.

1           Most railroads have some capability either in-  
2 house or through its contractors to respond to emergencies,  
3 but no railroad in the country has the capability to  
4 effectively respond to a transportation incident involving  
5 high-level waste or spent nuclear fuel. Railroads believe  
6 that DOE should accept the responsibility and develop the  
7 capability to effectively respond to incidents involving such  
8 materials, including technology, equipment, manpower, and  
9 plans.

10           The AAR on behalf of the railroad industry has been  
11 involved in these DOE sponsored activities including the TEC  
12 working group and the transportation coordinating committee  
13 for the past three years or so. We've participated in the  
14 discussions on emergency response and training in connection  
15 with Section 180C. Our message has been and continues to be  
16 that the DOE's expectations of rail transportation companies  
17 and emergency actions should be made clear. The extent to  
18 which DOE will be responsible for emergency response  
19 activities remains unclear.

20           Those conclude the prepared comments. I'd be glad  
21 to answer any questions that you might have. And, if I  
22 can't, I can certainly get the answers to you.

23           DR. PRICE: All right. Thank you. And, we would  
24 appreciate getting a copy of that.

25           To me, it sounded like not much has changed since

1 the last time the panel had a briefing similar to this. I  
2 think we're talking about almost four years ago. The list of  
3 things seems to be quite similar. We did hear at that time  
4 about concern about resonance in the handling of these heavy  
5 loads and the potential for derailment at that time. And,  
6 you made your comment about longitudinal forces. Is this  
7 concern still a strong concern?

8 MR. CONLON: It's a concern with regard to the placement  
9 of the 450,000 pound, or whatever it is, DODX cask at the end  
10 of regular trains as DOT requires, yes.

11 DR. PRICE: And, the MPC RFP that requires that the  
12 railcar be part of the design, what is your view of the  
13 adequacy of that to satisfying some of these concerns?

14 MR. CONLON: We've discussed with DOE and its  
15 contractors some concern about the railcar design and they  
16 have included in their specifications that it meets AAR's  
17 interchange requirements. I've attempted to point out to DOE  
18 that those represent minimal requirements for safety and that  
19 a risk management plan should be developed to identify what  
20 performance is required, what level of safety is required  
21 which would affect how much more that car designed. In other  
22 words, perhaps premium equipment for improving the  
23 suspension, premium braking, what have you. In other words,  
24 we feel that the whole process of developing a transportation  
25 system needs to be thought out before a car is actually

1 designed.

2 DR. PRICE: Now, many of your comments were related to  
3 dedicated trains and we're looking forward to a report that's  
4 supposed to come out from the Transportation System Center  
5 through DOT with respect to special and dedicated trains. Do  
6 you anticipate that some of the answers to these questions  
7 that you're raising will be involved in that report?

8 MR. CONLON: I can only--

9 DR. PRICE: We don't know what's in the report.

10 MR. CONLON: I don't know either. I haven't seen it.

11 So, I can only hope so.

12 DR. PRICE: We're told that it's now going to be, what,  
13 September that that report is still going to be here?

14 MR. CONLON: I think the comment was that that was  
15 optimistic.

16 DR. PRICE: Yeah, optimistic. I heard that word, yes.  
17 I heard that.

18 DR. CANTLON: You didn't mention anything about any  
19 special training for the train operators. Is there a plan  
20 for that or what's been the practice with shipment of maybe  
21 fuel?

22 MR. CONLON: Regarding training--

23 DR. CANTLON: Special training for the engineers, the  
24 firemen, the crews?

25 MR. CONLON: I don't believe that--

1 DR. CANTLON: Or you just draw the crews as the normal  
2 railroad carrier?

3 MR. CONLON: As far as I know, that's the practice. I  
4 don't believe there are any special requirements. But, I'll  
5 ask the railroads to see if there are any practices. There  
6 are, at least, a couple of railroads, Union Pacific and  
7 Southern Pacific, that handle the majority of those moves.

8 DR. PRICE: Well, there's certainly a lot of skills  
9 involved in the proper handling of trains and perhaps a lot  
10 of people don't appreciate the difficulties that can occur  
11 from an unskilled or a fresh or a new kind of operator.

12 MR. CONLON: Just to expand on that comment, a lot of  
13 people don't appreciate the difference between rail  
14 transportation and highway transportation. One of the  
15 concerns that I've had as a representative of the railroad  
16 industry speaking to DOE now in the various forums for the  
17 past three years is an attitude that I see of, well, we focus  
18 a lot on highways, we spend a lot of money and a lot of time  
19 developing safe transportation plans involving highway, but  
20 we talk about using rail for a majority of the moves in the  
21 future of the MPCs and what have you without really doing  
22 much in the way of planning for it. We feel very strongly  
23 that again sitting down--that the railroad industry and the  
24 DOE need to sit down together and talk out and identify all  
25 of the risks and develop a plan for managing those to the

1 mutual satisfaction of those key parties. And, we don't feel  
2 at this point that that's occurred. My view is that the door  
3 is opening and that the opportunities will be there and we  
4 have been talking to a lot of people at DOE, but we haven't  
5 actually sat down to do this. I think it's high time that we  
6 do.

7 DR. PRICE: What would you be willing to say or would  
8 you be willing to say that just ordinary routing practices as  
9 practiced by the railroad today would not be appropriate for  
10 nuclear waste shipments; ordinary routing? Right now, a car  
11 is liable to go a very circuitous route from origin to  
12 destination, very circuitous just because of the way things  
13 work.

14 MR. CONLON: Well, I think what I read to you was a  
15 description of how it is done now and if we add to it the  
16 dedicated train service, the likelihood of circuitous  
17 routing, unless it's to avoid an accident or some kind of  
18 natural disaster, is reduced to the lowest level. But, I  
19 think the point that I was trying to make was that railroad  
20 routing practices now ought to be looked at pretty carefully  
21 by DOE if they're going to develop any criteria because I  
22 feel that we have--that the criteria and the practices we use  
23 now are adequate.

24 DR. PRICE: Are you optimistic with respect to past  
25 changes in the interaction of DOE with the railroad industry?

1 Is it changing and improving?

2 MR. CONLON; Yes. The old days are behind us, I think,  
3 although I think some of the attitudes from the old days may  
4 linger. But, I do believe that our willingness and DOE's  
5 willingness to work together will eventually lead us to the  
6 point where we can work to resolve these issues.

7 DR. PRICE: And emergency response right now requires  
8 access to private property because the right of ways belong  
9 to the railroad and maybe along a particular total route,  
10 it's several different ownerships involved in this. Does  
11 this pose a particular problem with respect to emergency  
12 response that is being addressed or you don't find it as a  
13 problem or--

14 MR. CONLON: It's not a problem. Ask any fire  
15 department that's ever gone to a railroad accident. I mean,  
16 the primary--the first responder, the primary responding  
17 agencies, are almost always police or fire departments and  
18 they don't have a problem with property ownership.

19 DR. PRICE: And, are you discussing with DOE the  
20 difficulty of retrieval at remote locations and the tying up  
21 of a line over a long period of time that you alluded to in  
22 your talk or is this some--

23 MR. CONLON: We've talked about that in the past with  
24 DOE, yes.

25 DR. PRICE: Thank you very much. Appreciate getting the

1 railroad's perspective.

2 MR. CONLON: Thank you.

3 DR. PRICE: And, it's about the same as it was before  
4 except it sounds like there's a little warmer, fuzzy feeling  
5 than there had been before.

6 MR. CONLON: I think the whole point of all this is that  
7 the communication is improving.

8 DR. PRICE: Yes, thank you very much.

9 We're going to now open the floor for questions/  
10 comments from any of the listeners. We'd be interested if  
11 there are people from the utilities who would like to make  
12 some comments because we haven't had a specific presenter  
13 today in that area. But, we would welcome any of the  
14 comments that might come from the floor at this time.  
15 Please, come to the microphone, speak your name, and if you  
16 are representing a particular organization, please indicate  
17 that representation.

18 MR. SIMS: My name is Stan Sims. I'm from Nye County.  
19 That's in Nevada. Nye County is the second largest county in  
20 the United States. Nevada Test Site is in Nye County. The  
21 Nellis Bombing Range is in Nye County. Yucca Mountain is in  
22 Nye County. And, a lot of waste processing facilities are in  
23 Nye County. From all the discussions I've heard over the  
24 past few days here, a lot of things are going to come to Nye  
25 County and we are a stakeholder. We're not an organization.

1           The comments made earlier by Susan Smith indicated  
2 that we were represented in the TEC, for instance, which was  
3 held 30 miles south of here, on the same day with a lot of  
4 the same agenda items. The Board was interested in  
5 stakeholder input and I think we can be categorized as a  
6 stakeholder. I also represent and sit on the affected units  
7 of local government which are some 10 units which are Nye  
8 County and the counties surrounding it in the State of Nevada  
9 and one in California, Inou County.

10           We were at the TEC down south of here on our own  
11 volition. We weren't invited and we aren't a member of that  
12 group. We've asked to be a member of that group. So, Susan  
13 Smith is not correct in saying that she had seven out of the  
14 10 affected units there. And, I think what's happened is she  
15 just miserly because she's worried about paying the  
16 transportation costs for one representative coming from  
17 affected local units of government in Nevada. And, we'll  
18 take care of that. Obviously, we're interested because seven  
19 out of the 10 units showed up and they aren't even members.  
20 A lot of the members didn't even show up for that meeting.  
21 So, that's a little piece of information for you there.

22           Also, I mentioned the overlapping agendas and I  
23 think that the Board is to be complimented on its approach to  
24 stakeholder input. One of the best indicators of stakeholder  
25 input is the fact that the State of Nevada filed suit on the

1 Department of Energy the 28th of June. And, I think this  
2 demonstrates some overall stakeholder concern. The public  
3 perception of risk is a very big issue. We have a lot of  
4 people out in the rural areas of Nevada that want to know  
5 about this and they've had some trouble in the past really  
6 knowing about what's going on. I don't have any real trouble  
7 with this because I've got about 30 years of wearing a film  
8 badge off and on. I was teenager on a submarine. I  
9 understand things nuclear. But, I think what we have to do  
10 is put the information out, get the stakeholder input, and  
11 clearly get their input. Not the input necessarily of  
12 organizations, although organizations are handy to have their  
13 data and their input also. But, if you're asking for  
14 stakeholder input, I think clearly we aren't getting a lot of  
15 stakeholder input at this point.

16           Thank you very much.

17       DR. PRICE: Thank you. Again, stakeholder input is one  
18 of our areas of major interest and also concern. I  
19 personally don't think that just opening the door and saying  
20 "you all come, you're all invited" really satisfies this and  
21 I think your comments indicate that. And, as to the double  
22 billing and double time of the TEC with us, I would welcome  
23 any kind of comment as to how that occurred.

24       MR. GOMBERG: I guess I'm the lucky winner of the short  
25 straw to answer this question. What I'll do, I guess, is not

1 make excuses or anything, but discuss the process as to how  
2 both these meetings occurred and how the dates ended up  
3 occurring the same time.

4           We had the last TEC meeting January 28 in Dallas.  
5 We've made it a habit at the end of every meeting because of  
6 the number of parties involved to try to pin down a window as  
7 to when we would conduct the next meeting. Normally, they  
8 are every six months. As it would turn out, back in January  
9 we decided that the week of July 11 in Minneapolis would be  
10 where we would have the next TEC meeting. Hopefully, those  
11 of you that were there will confirm that. I guess we knew  
12 that the Board had their Full Board Meeting in Denver in  
13 July. I think, initially, it was the 11th and 12th.  
14 However, the agenda had not been set yet and we had no idea  
15 that there would be a need to do a transportation  
16 presentation for this particular Full Board Meeting.

17           It wasn't until April, I guess, that we finally  
18 realized that we were going to be asked to put an agenda  
19 together for the TRB for a Board meeting here. By then, the  
20 decision had been made that we would have the July 11th  
21 window for TEC. That had already been made and we basically,  
22 in talking with our own internal working group--with DOE,  
23 with EM, and RW participants who were involved in this--felt  
24 that--the point where it was just a little bit too late  
25 because of all the planning and all the parties involved to

1 change anything. I guess, we thought it would help to have  
2 both meetings co-located, in part, to minimize the number of  
3 resources and potentially give people who normally attend TEC  
4 or normally attend the TRB to do both. And, initially, it  
5 was meant that we thought the Full Board Meeting was going to  
6 be the 11th and 12th and TEC would be the 12th and 13th and  
7 we felt that, given there wouldn't be 100% coverage, there  
8 would be enough coverage for people who had interest to try  
9 to attend both.

10 I don't know if that's acceptable to anybody. I'm  
11 not trying to make excuses, but that's sort of the  
12 development of this whole thing and it's very hard. Meeting  
13 logistics is a very tough thing.

14 DR. PRICE: All right. Thank you.

15 MS. HOFFMAN: Juanita Hoffman, Ezmeralda County, Nevada.

16 This is in reference to yesterday's remarks by Mr.  
17 Brocoum and Mr. Rousso concerning the proposed program  
18 approach regarding stakeholder involvement. Ezmeralda County  
19 would like to offer the following comments.

20 The May 21st stakeholder meeting left most of the  
21 affected units of local government frustrated and angry.  
22 Prior to the meeting, we were told that there would be a  
23 roundtable morning session and that only three of the  
24 counties were invited to participate. We protested that and  
25 were told that all 10 counties could sit at the table. By

1 the time of the meeting the next morning, the agenda had been  
2 totally changed. We never did see an agenda until we walked  
3 into the meeting and this is kind of repeat of what happened  
4 in August of '93 at the first stakeholder meeting. There was  
5 never a final agenda until the morning of the meeting.

6           In the presentation by Dr. Dreyfus, there was an  
7 extensive elaboration on what the affected counties were  
8 originally given about Scenario A. We were given just a  
9 bare-bones description of the proposed program approach. It  
10 wasn't even called that then. Five of the 10 counties walked  
11 out of the stakeholder meeting because they felt that there  
12 was miscommunication by DOE and they also perceived that  
13 there was deception by DOE prior to the meeting. We see many  
14 recent examples by DOE of stakeholder participation and they  
15 cite meetings with the affected units of local government and  
16 these meetings are mostly DOE, talking heads talking at us,  
17 and we're not doing a whole lot of participation.

18           I'm not here to beat up DOE, but we are here to try  
19 to work together to solve this national issue. So, it's  
20 important to correct any misperceptions regarding stakeholder  
21 involvement. In our view, being talked at or checked off a  
22 list doesn't constitute stakeholder involvement or pre-  
23 decisional input.

24           Thank you.

25           DR. PRICE: Thank you. I think that's a pretty clear

1 message and I hope it's relayed where it needs to be.

2           Other comments?

3           MR. FRISHMAN: If you'll indulge me as you often do, I'm  
4 going to, I guess, take you on a little trip through what  
5 you've heard again. I'll try to put it together in a way  
6 that, I think, touches on a number of different questions  
7 that have been asked for the last couple days. Also, one  
8 major concern that the Board has had all along and I don't  
9 think has ever really been quite satisfied that it should not  
10 be concern. And, I'll try to piece this together in a way  
11 that, hopefully, can be followed.

12           We started out yesterday hearing about the proposed  
13 program approach and we really don't know a lot about the  
14 proposed program approach, other than it is being imposed on  
15 the program very fast right now. And, one of the  
16 observations that I've been making is that I can't discover  
17 that there's any single document that really does describe  
18 the proposed program approach and at a level of detail that  
19 would permit such things to go on as are going on right now;  
20 such as the top-down/bottoms-up evaluation of costs that the  
21 M&O is carrying out right now with guidance yet to be issued  
22 on the planning for WBS elements down to about the third  
23 level. That guidance is supposed to be issued this month.  
24 Well, finally, about December, if you look at Steve Brocoum's  
25 discussion from yesterday, we're supposed to have some type

1 of a final strategy statement for the proposed program  
2 approach after it has already been essentially implemented  
3 into the technical program for FY-96 or FY-95.

4           So, we're working in an area where I'm getting the  
5 impression, first of all, that it's a sort of invent it as  
6 you go and then at the end we'll say what it is. Now, take  
7 that and sort of set it aside, but that is the driving force  
8 that we see out there right now.

9           Well, what are the elements of the proposed program  
10 approach that we do know? One of them is the MPC which has  
11 been discussed in relation to the program quite a bit today  
12 and I don't think we heard any more about it than we already  
13 knew. But, the MPC is the centerpiece of the proposed  
14 program approach. There's one other element of the proposed  
15 program approach that we do know not in detail, but at least  
16 in philosophy and that's that the approach to determining  
17 site suitability has been brought back into a very fast track  
18 where the intent is to have a technical site suitability  
19 evaluation in 1998 followed very shortly, within maybe a year  
20 or two years, by a site suitability determination. Well, we  
21 know that and we know also--and, that's just essentially a  
22 schedule effect.

23           The other thing that we know is that the philosophy  
24 of the licensing has changed, I think, pretty radically and I  
25 think we heard maybe--if we could at least infer, more

1 radically than we were led to believe in early discussions of  
2 this. The philosophy of the licensing approach, if I can  
3 paraphrase it, I think is coming towards trying to get a  
4 construction authorization and receive and possess  
5 essentially for pre-closure and then use a long pre-closure  
6 period with emplaced spent fuel to try to get together the  
7 site characterization information, not performance  
8 confirmation; site characterization information that would  
9 have been necessary for post-closure reasonable assurance  
10 determination. I think that's what's happening. And, if I'm  
11 wrong, somebody please tell me that I have paraphrased that  
12 wrong, but I've been listening to this develop through the  
13 last few months and I think that's where it's going.

14           Now, I think what's driving all of this is the goal  
15 number five that Steve Gomberg had in his presentation,  
16 "resolved in 1998, waste acceptance expectation issue". And,  
17 I think that is driving it. The MPC is out there to try to  
18 do that. But, at the same time, the Department really  
19 doesn't have the responsibility to do that and recent events  
20 have even shown that they're not going to resolve it anyway.  
21 They cannot resolve it themselves. It would have to take  
22 legislation to resolve that and there is right now two  
23 lawsuits--or there are two lawsuits out there seeking to  
24 resolve that without the Department. So, I think the  
25 incentive in the program right now is that; resolve the 1998

1 date and also get the site suitability and licensing as fast  
2 as possible and the two are linked because the MPC is sort of  
3 the way to do it.

4           Now, having gone through that, first of all, where  
5 do we see some evidence for this? If you look through the  
6 schedules that Steve Brocoum laid out--and, I would suggest  
7 that Board members or at least the staff try to follow  
8 through these schedules in detail because they become pretty  
9 revealing and I'll show you just one sort of sketch on how it  
10 works.

11           If you look through the schedules that Steve  
12 Brocoum put out and the schedule that appears in Steve  
13 Gomberg's paper from today, you find, first of all, in about  
14 September of 1996, you find an element that says "evaluate  
15 MPC design versus waste package, updated materials report,  
16 and preliminary thermal loading decision". This is for the  
17 MPC. Well, if you look farther down, you see just very  
18 shortly after that evaluation or maybe even at the same time  
19 is the submittal of the application for the MPC for a  
20 certificate of compliance and that's a critical path--it's  
21 indicated as a critical path activity on the schedule.

22           Now, if you go through Steve Brocoum's schedules  
23 and look at some of the things that were talked about  
24 yesterday--for instance, the performance confirmation people  
25 said they need to have some type of a pretty good handle on

1 the 3-D geologic and hydrologic system. They need a pretty  
2 good 3-D model. Well, if you look at that schedule, about  
3 September 1996 is a sub-final of that schedule. If you look  
4 at total system performance, just a very short time after  
5 this September 1996 date, you have another iteration of the  
6 total system performance assessment which is the last one  
7 prior to a technical site suitability finding.

8           So, what does this all come back to? What I see  
9 it's coming back to is that for the purposes, first, of the  
10 MPC, the program critical elements of the repository program  
11 are being shortened up and elements that the people who are  
12 working on with the program will have only two years to  
13 resolve to the point where management says that they are  
14 bounded or sub-final and sufficient to go forward with the  
15 MPC. And, that's where I think it really is going. I was  
16 talking with some other people and I'm getting the impression  
17 more and more--and, I've spoken to the Board about this, I  
18 guess, for three years now--getting the impression that  
19 repository safety determinations, one way or another, are  
20 being influenced by the early decisions regarding  
21 transportation or transportation storage which the MPC has  
22 become.

23           This is a schedule-driven program. I think we  
24 heard from people yesterday all across the board that they  
25 don't know an awful lot. They're learning, but they don't

1 know an awful lot and there's an awful lot that needs to be  
2 known and I think the message, if you have followed anything  
3 through what I'm saying here that the Board really needs to  
4 look at very carefully, is remember that in just over two  
5 years from now, the Department is going to be making  
6 technical decisions about the repository and about repository  
7 site characterization only for one reason that can be traced  
8 all the way back to gaining some confidence on their part  
9 that they can go through with the MPC all the way to a  
10 disposal evaluation.

11           I hope that hasn't been too complicated for you,  
12 but I think if you spend a little bit of time following  
13 through just the little triangles and diamonds on the  
14 presentations, you might be able to see the same thing.

15           And, just sort of a final note, we've spent a lot  
16 of time talking about transportation today and, if you look  
17 at that same transportation schedule, you see that the Part  
18 72, certificate of compliance for the MPC, is on the critical  
19 path. The Part 71, certificate for transportation, is not.  
20 And, I think that maybe further confirms what I'm trying to  
21 explain to you that I'm seeing. What it comes down to, I  
22 think, in the long run is the Board's often stated--and, I  
23 think from probably its inception--great concern about  
24 whether the repository program is being schedule-driven to  
25 the point of being detrimental to the science that was

1 intended to be done in site characterization. I think the  
2 answer to that is yes. I think if you trace through what  
3 you've heard in the last two days and start looking at the  
4 schedules and the importance of the events on that schedule,  
5 you might come to that same conclusion. I hope if you do  
6 that you will be loud about it when you do find it.

7           Thank you.

8           DR. PRICE: Is there a DOE response to that? Dwight,  
9 are you leaving the room or are you--

10          MR. SHELOR: Maybe I should. No, I would just like to  
11 offer a perspective with respect to the proposed program  
12 approach. As indicated in Dr. Dreyfus' response to your  
13 original question, the urgency in putting together the  
14 proposed program approach and presenting this to the Congress  
15 was pretty much dictated by the schedule. I believe that  
16 additional stakeholder input and revisions to the proposed  
17 program approach are probably appropriate and certainly will  
18 be considered in the near future. Obviously, before any  
19 final firm plans can be made relative to that approach, we  
20 have to get a better picture and understanding of the  
21 Congressional intent for funding at the levels that we have  
22 proposed. So, that's pretty much to be determined as we go  
23 through the next few months and we'll get another indication  
24 of that when we begin to look at the FY-96 budget and your  
25 funding profiles.

1           The other aspect, I'm trying to remember. Steve  
2 mentioned so many things. One was his--I would like to  
3 briefly try to allay some of his concerns relative to the  
4 intent. The MPC, Steve, we believe is only one possible  
5 thing that could--one possible aspect of resolving the 1998  
6 waste acceptance issue. We don't know how to resolve that  
7 yet. As you mentioned, there are two lawsuits. It appears  
8 that it is extremely important that we do resolve that. We  
9 don't have the answer yet. The notice of inquiry was  
10 intended to open that dialogue. So, I don't know what the  
11 answer is yet. MPC could be one of the answers or a partial  
12 solution to that problem.

13           The other aspect relative--I'm trying to remember  
14 now. It was relative to the licensing or the intent of the  
15 licensing for the repository. I think clearly we have looked  
16 and we have demonstrated that this licensing approach to the  
17 repository is well within the intent of the NRC regs and 10  
18 CFR 60 in terms of post-closure performance confirmation. I  
19 think the technical site suitability determination is an  
20 important DOE management milestone. It's more of a look to  
21 see if you have--it's an investment decision. We do a  
22 technical evaluation and we want to see if that's the path  
23 that we want to stay on and invest more of the rate payers'  
24 money in or go on another path prior to a schedule for  
25 looking at a possible site suitability determination.

1 DR. PRICE: Thank you. That was Dwight Shelor who was  
2 in systems and is now in waste acceptance, storage, and  
3 transportation as deputy director. Did I get that right?  
4 Good for me.

5 MS. TREICHEL: I don't have a title nearly that long.  
6 This is Judy Treichel from the Nevada Nuclear Waste Task  
7 Force. I have probably an outlandish request and I use the  
8 word "request" because it's a lot nicer than "demand". I'm  
9 one of a whole big group of people which is growing all the  
10 time that would like to see the word "stakeholder" killed off  
11 and buried. It doesn't mean anything. And, I have asked a  
12 lot of people from headquarters on down to the project what's  
13 a stakeholder and, when the conversation gets done, the  
14 determination is that everybody is a stakeholder. Susan, in  
15 her presentation, had a whole page of stakeholders and that  
16 was probably a partial list. But, what happens is it takes  
17 away a lot of accountability from the Department of Energy.

18 And, as Juanita was saying, the meeting on May 21  
19 has been widely talked about, the stakeholder meeting. And,  
20 DOE many times claims that to have been a wonderful  
21 successful meeting. And, it wasn't; it was a blowout, it was  
22 a real mess. And, yes, there were people who walked out. It  
23 was a chaotic situation and it really didn't accomplish  
24 anything, but it allowed the Department to go around the  
25 country and tell people that they had met with the

1 stakeholders and that stakeholders had been involved in the  
2 PPA. And, they weren't except as listeners. They've been  
3 listeners several times. So, what happens is every time DOE  
4 has a meeting with vendors, with the utilities, with any  
5 group that's out there, their contractors, they have had a  
6 stakeholder meeting. In most of those situations, they've  
7 come away with affirmation for whatever they wanted to do.  
8 So, they got very positive reinforcement for a fast track or  
9 for a lot of things that are troubling to the public and the  
10 public has not been involved and yet there's been a  
11 stakeholder meeting.

12           So, I would like to see that word go away and in  
13 its place say who you mean. If you're going to have a  
14 meeting with contractors, if you're going to have a meeting  
15 with the public, with public interests, with the professional  
16 public, just say who it is and then we know who is being  
17 talked about.

18           The other thing I wanted to mention was that I keep  
19 harping on public involvement and I don't think having  
20 stakeholder meetings is it because most of them are not  
21 public meetings and they do not in any meaningful way involve  
22 the public. When Steve Brocoum was talking, he said that  
23 they would be continuing with public involvement and they  
24 were aligning a lot of the programs that they're putting in  
25 and a lot of the new direction they're taking is being made

1 to comply with the draft public participation policy. Well,  
2 that thing never went anywhere. That was that piece of paper  
3 that came out right before Christmas and we were all supposed  
4 to submit comments before New Years. Most of the comments  
5 that came in--and, I saw a lot of those--just bombed them for  
6 having done something with that little time to comment on it  
7 and that sort of disrespect for sending something out. So,  
8 I'm not sure that there is any sort of policy.

9           And, I know that recently, Dr. Dreyfus asked the  
10 Board for guidance on a public participation policy and I've  
11 seen the letter that went back from this group, from you, to  
12 OCRWM headquarters and I think it was an excellent letter. I  
13 think there's some great ideas in there. What I would hate  
14 to see now is to have a couple of people at headquarters sit  
15 down and pick one or two points out of the letter that you  
16 wrote and come out with something that again they throw at  
17 us. Now is the time to take that letter and a whole lot of  
18 the comments--we're 12 years into this thing and they're  
19 still trying to devise a way for the public to become  
20 involved. But, what has to happen now is your letter and all  
21 these comments that have come in over these years have to be  
22 put on the table and a lot of us who deal with this all the  
23 time, those of us who have tracked the meetings, who actually  
24 can almost understand what was said yesterday, and you know,  
25 have followed this thing all of this time could be real

1 helpful. That's not one of those things that they've got to  
2 get full funding for. This is something that doesn't cost a  
3 lot. If they asked us to come in, we're real available and  
4 we're extremely cheap. So, this isn't one of those things  
5 that you have to redirect everything about and it's very easy  
6 to do. It just may be that it would make them accountable  
7 enough to make it very difficult. But, there's a lot of  
8 crying and whining about the lack of trust and confidence and  
9 the need for a public policy and this is one of the places  
10 where we're seeing sort of geologic time frames in order to  
11 even get any sort of basic beginnings for public involvement.  
12 But, I do want to thank you for the excellent letter that  
13 went from the Board and I hope it does something.

14 Thank you.

15 DR. PRICE: Thank you.

16 Other comments?

17 MR. STAUFFER: My name is Jack Stauffer and I am a  
18 private consultant. I don't represent anyone anymore. I  
19 have 20 years experience in the nuclear industry, 20 years in  
20 the railroads. What I'd like to do is go on record to ask  
21 that the cooperation that Dr. Price was alluding to between  
22 the railroads and the DOE, in fact, take place. I was a  
23 member of a task force that was called the Government/  
24 Industry Task Force, 1981, led by Battelle Memorial Institute  
25 to get the railroads' views on how nuclear materials should

1 be shipped in the United States when they were shipped by  
2 rail. To my knowledge, none of the things that were brought  
3 up by that group have ever been implemented.

4           One of the things that was emphasized at that time  
5 was the use of dedicated trains which I've heard a lot about  
6 today. It was less than a year ago that the Courts ruled  
7 that the use of dedicated trains was unnecessary for shipping  
8 nuclear materials and the railroads refunded \$8 million in  
9 what were called revenues. What I think needs to be done is  
10 a lot closer relationship between DOT and DOE and the rail  
11 industry take place. I'm emphasizing what Peter Conlon had  
12 said. I don't know how that's going to come about because  
13 I've tried for more than 10 years to at least get an audience  
14 with some of the people who are trying to design rail  
15 equipment. The performance record is pretty bad. The DOD  
16 cars that ship submarine fuel elements don't pass the minimum  
17 acceptance test of the railroads. Rail Garrison which many  
18 of you may know about, the MX missile on a rail car, all the  
19 cars in that train failed to pass the minimum stability tests  
20 for the railroads and yet the excuse was, well, we've already  
21 got the equipment designed; we're going to have to use it.  
22 I'd like to see maybe a little better cooperation between  
23 what nominally would be representatives of the rail industry  
24 and the DOE and I don't know how to accomplish that.

25           Thank you.

1 MR. POLONSKY: I'm here on behalf of Kaiser Engineers,  
2 but I'm not speaking right now on behalf of Kaiser Engineers.  
3 I'd like to change the pace to the DOE video that was  
4 presented on natural analogs and how appropriate it appeared  
5 to be and how it allayed my public layman fears about a  
6 repository and how applicable I think it could be to allaying  
7 most people's fears if it were shown as a Nova special or  
8 something like that on generic tv. However, it appeared to  
9 me after coming to many of these meetings that we're not even  
10 using a backfill or a bentonite or a clay which practically  
11 every natural analog on that tape discusses. It also  
12 discusses, well, these iron nails were found, they're 2,000  
13 years old, but that was a reducing environment and Yucca  
14 Mountain is an oxidizing environment. So, it's a very  
15 interesting natural analog study for European repositories  
16 which may be in a reducing environment, but is not very  
17 applicable for Yucca Mountain which appears to be oxidizing.  
18 So, maybe, we should discuss engineered backfill again for  
19 Yucca Mountain, something that was discussed yesterday, and  
20 let's just leave the uranium or the nuclear waste out for 100  
21 years to cool off a little bit more before putting it away  
22 for a million.

23 Thank you.

24 DR. PRICE: All right. You're talking about the video  
25 that Charles McCombie had a part of?

1 MR. POLONSKY: I guess so, yes.

2 DR. PRICE: And, that was not a DOE video, was it?

3 MR. POLONSKY: Oh, okay.

4 DR. PRICE: Any other comments?

5 (No response.)

6 DR. PRICE: Well, if not, I think I'll turn it back with  
7 a--first of all, I'd like to give a great big expression of  
8 thanks to all of the participants and speakers for their  
9 contributions.

10 DR. CANTLON: Well, on behalf of the Board, again let me  
11 thank today's speakers, yesterday's speakers, and the  
12 participation from the floor. The Board continues to derive  
13 the raw materials for its advice and assessments of the DOE  
14 program from these kinds of hearings, these kinds of  
15 iterations. So, we commend all of the participants and thank  
16 you for coming.

17 We're adjourned.

18 (Whereupon, at 4:50 p.m., the meeting was adjourned.)

19

20

21

22

23

24

25

1

2

3 ''