

NUCLEAR WASTE TECHNICAL REVIEW BOARD
MEETING OF THE PANEL ON STRUCTURAL GEOLOGY & GEOENGINEERING:
ESF/REPOSITORY DESIGN AND CONSTRUCTION

Las Vegas, Nevada
June 13, 1994

BOARD MEMBERS PRESENT

Dr. John Cantlon, Chairman, NWTRB
Dr. Edward J. Cording, Session Chair
Dr. Garry D. Brewer, Member
Dr. John J. McKetta, Member

CONSULTANTS

Dr. Clarence Allen
Dr. Donald Langmuir
Dr. Dennis L. Price
Richard Bullock
Alden Segrest
Dr. Jean Younker
Jack Lemley
Antony Ivan Smith
Robert Matyas

NWTRB STAFF

Dr. William Barnard, Executive Director, NWTRB
Dr. Carl Di Bella, Senior Professional Staff
Dr. Leon Reiter, Senior Professional Staff
Mr. Russell McFarland, Senior Professional Staff
Ms. Nancy Derr, Director, Publications
Ms. Linda Hiatt, Management Assistant
Ms. Donna Stewart, Staff Assistant

ALSO PRESENT

Kal Bhattacharyya
Steve Brocoum, DOE
Bill Simecka, DOE
Dennis Williams, DOE
Dean Stucker, DOE
Robert M. Nelson, DOE
Alan Berusch, DOE
Hugh Benton, M&O/B&W Fuel

I N D E X

	<u>PAGE NO.</u>
Opening Remarks	
Edward Cording, Session Chair	4
Nuclear Waste Technical Review Board	
Proposed Program Approach: test program, site suitability, advanced conceptual design (ACD), Title I & II design for the repository, 100-year retrievability	
Jean Younker, M&O (TRW)	25
Delivering cost-effective products	
Alden Segrest	81
Management & Operating Contractor (M&O) [Duke]	
Alternative access to the Calico Hills	
Richard Bullock	115
M&O (Raytheon Services Nevada)	
Round-table discussion	
Edward Cording, Session Chair, moderator	133

P R O C E E D I N G S

1
2 DR. EDWARD CORDING: Let's get started. I'd like to
3 begin our session this afternoon. I am Edward Cording, Board
4 member and chair of today's session. I would like to welcome
5 you to this meeting on the exploratory studies facilities.
6 This meeting today is sponsored by the Board's Panel on
7 Structural Geology & Geoengineering.

8 I'd like to briefly introduce the people that are
9 at the table. Starting on the outside, Clarence Allen, John
10 Cantlon, Board Chair, Garry Brewer, all Board members, Dennis
11 Price and Donald Langmuir, consultants, and John McKetta,
12 Board member. We also have with us staff members from the
13 Nuclear Waste Board. Bill Barnard, our Executive Director,
14 is still in the room at this point. We have Leon Reiter,
15 Carl Di Bella, Nancy Derr, and Russ McFarland is
16 participating in the program, and he may be out of the room
17 at the moment as well.

18 Russ provided me a draft, and I just would like you
19 to know that the first words were "Good morning." So I'm on
20 my own.

21 I'd also like to introduce consultants that have
22 joined us. We're pleased to have them join us as consultants
23 to the Board. They're here today.

24 On the left, we have Jack Lemley. Jack has just
25 completed his duties as Chief Executive of the Trans Manche
26 Link, the Channel Tunnel, where he was really in charge of
27 the design, construction, the commissioning, procurement of
28 equipment, as well as the construction of the project itself.

29 He was invited to join the Trans Manche Link, the Tunnel
30 contractors, by the consortium, which was combined of both
31 the British and the French.

32 Jack has been involved in heavy construction,
33 worked with Morrison-Knudsen, did the King Khalid Military
34 Center of 70,000 inhabitants in the Near East. He's been
35 engaged in underground tunnel construction. I first met him
36 on a project where he asked me to help on a geotechnical
37 problem; I think it was back in 1972. So we're real pleased
38 to have you here with us today, Jack.

39 The others, next to him is Tony Ivan Smith. Tony
40 is a consultant. He's been involved in design, application
41 and operation of tunnel-boring machines; involved in 45
42 different tunnel projects over the years, 12 raised boring
43 operations; designed the first totally automatic raised
44 boring machine. Tony, we're glad you're here, also.

1 I'd also like to introduce Bob Matyas. Bob is a
2 retired Chief Operating Officer at Cornell University. He
3 was formerly the Associate Director of the Cornell Laboratory
4 of Nuclear Studies. Bob, a few years ago--I think it was
5 approximately fifteen years ago now--established a tunnel
6 review panel for the SSC project. He was one of the original
7 group that started the SSC. I think the success of a lot of
8 the underground work there is largely due to his efforts to
9 get that group started.

10 We also have with us at the head table some of the
11 presenters today: Jean Younker with the M&O; Alden Segrest,
12 who has joined the M&O in the last, I think, approximately
13 six months, next to her; and then Dick Bullock with the M&O
14 also, and Raytheon Services.

15 It was in this room, I think you may recall, the
16 last time we met to discuss the ESF. That was approximately
17 --I thought it was two years ago, but the weather was a lot
18 cooler at that time than it is now, so it was only a year and
19 a half that has passed since that time. But a lot has
20 happened in that period, and I'd like to describe some of it.

21 First, as a result of that November workshop, the
22 Board wrote its report on the DOE's plans for underground
23 exploration and testing. This report was released last
24 October, and the Board took a look at the DOE's plan for
25 constructing the underground facility and for exploring and
26 testing in that facility. We made a number of suggestions
27 and recommendations about the technical program, many of
28 which have been acted upon by the DOE. There are many items
29 within this report, I think, that are still applicable, and
30 we'll talk about some of them in a few minutes, as well as,
31 perhaps, covering some of these items in the presentations
32 and discussions that will follow the next two days.

33 Secondly, the DOE has been working to make its
34 design and construction plans more efficient and more cost
35 effective. In addition, a qualified and experienced
36 construction contractor has been brought on board, and is
37 brought on board to build and construct the exploratory
38 facility. This trend toward increasing program efficiency is
39 promising, and the Board commends these initial efforts, and
40 really, I hope that they will continue and be enhanced.

41 As a matter of fact, now, we will be hearing today
42 from Alden Segrest of the M&O of the efforts to get a better
43 handle on some of the high costs and on the length of time it
44 takes to accomplish design.

45 The Board is pleased to hear of the progress at the
46 site. The tunnel boring machine is being assembled. I
47 understand it is scheduled to begin operating sometime late
48 this summer.

1 The third item, we understand the Yucca Mountain
2 project is undergoing a management restructuring, and the
3 role of the M&O has been enhanced.

4 We will hear a presentation tomorrow morning from
5 Bob Nelson, acting project manager, on the new management
6 approach. As you all are aware, or probably aware, the
7 Secretary of Energy has announced a financial and management
8 review of the Yucca Mountain project, which tentatively is
9 scheduled for completion by the end of this year.

10 Finally, we find ourselves again in the midst of a
11 serious effort by the DOE to rethink the civilian radioactive
12 waste management program. During recent months, several
13 alternatives to the current program have been under
14 consideration. Scenario A, which is now being called the
15 administration's Proposed Program Approach, or described here
16 as PPA, has received the most attention.

17 Jean Younker will be presenting the proposed
18 approach this afternoon. We're particularly interested in
19 hearing how it could affect the exploration and testing
20 program.

21 After the April meeting in Reno, the Board
22 assembled a number of questions about the new approach, and
23 we plan to discuss these at our full Board meeting in July.

24 The objectives of our meeting today can be
25 described, perhaps, in three items. One, to review the
26 progress being made in the design and development of the ESF
27 itself, the Exploratory Studies Facility. Secondly, to
28 assess the impact of the Proposed Program Approach, or the
29 PPA, on the site characterization program. And third, to
30 hear about the progress being made in the development of the
31 advanced conceptual design, the ACD, of the repository and
32 the basis for key assumptions that are being used to guide
33 this design.

34 We've reserved some time in the schedule so that we
35 can have discussions after the presentations and at the end.

36 So I hope we have opportunity for a free exchange among DOE,
37 its contractors, people in the audience and the consultants,
38 as well as the Board.

39 I believe that the--we've seen that as the design
40 and construction of ESF has progressed and time has passed
41 that options are narrowing. We're getting near our
42 constructions, there's less flexibility and what one can do
43 at this point. But I believe also that the current climate
44 of potential change offers us a unique opportunity to take
45 another look. And I think in some areas this is really a
46 last look at some of the critical issues related to
47 exploration and testing at Yucca Mountain. I'd like to take
48 a few minutes to outline what I believe to be some of the

1 critical issues.

2 Why are we building exploratory studies facilities?
3 The ESF had its origin in the Nuclear Waste Policy
4 Act. Congress passed the NWPA in '82, establishing the
5 Office of Civilian Radioactive Waste Management, and the
6 basis for this program. The act includes a description of a
7 test and evaluation facility, which is defined as "an at-
8 depth, prototypic, underground cavity with subsurface lateral
9 excavations for research and development purposes." The
10 underground exploratory facility will allow the DOE to
11 characterize the candidate site "to establish the geologic
12 conditions and the ranges of the parameters of a candidate
13 site using borings, surface excavations, excavations of
14 exploratory shafts, limited subsurface lateral excavations
15 and borings, and in-situ testing ..."

16 Because underground exploration and testing are
17 critical for determining the suitability of the site and for
18 designing the proposed repository, the DOE developed in its
19 "Mission Plan" in 1985 a program of both surface-based and
20 underground exploration and testing. Surface-based testing
21 has been underway at the site for several years. Surface
22 mapping and surface-based borings are a very important part
23 of the exploration. But underground access must be obtained
24 to permit observation of structural features, the joints,
25 faults and bedding, over significant distances at the depth
26 of interest. It is particularly important to use horizontal
27 excavation to cross and then test faults and joints which are
28 predominantly near vertical features at the site.

29 Based on a series of studies conducted in 1991,
30 including the ESFAS, or the Exploratory Studies Facilities
31 Alternatives Study and the Calico Hills Risk Benefit
32 Analysis--with those two studies, the DOE concluded that the
33 site requires significant tunneling above, at, and below the
34 repository level.

35 And now the DOE is looking at the proposed program
36 approach, and it certainly appears that it will be bringing
37 about changes in the exploratory and testing program. These
38 changes, however, should result from a thorough analysis of
39 the technical requirements of the program, or the science
40 that is necessary within the program to achieve the results
41 needed to be able to characterize the site.

42 We look forward to learning more of the Proposed
43 Program Approach. It should focus exploration efforts and
44 set needed priorities for exploration and testing. These
45 priorities should be related to the site suitability and
46 licensing issues. And I believe, appropriately, it should
47 allow certain investigations and some of the decisions on
48 design alternatives to be deferred. However, the Proposed

1 Program Approach should not lead to a truncating of necessary
2 investigation in an effort to meet a scheduled licensing
3 date, despite accumulation of delays in the start-up for any
4 execution of the investigations.

5 As we all know, underground exploration and
6 excavation has been delayed several times during the past few
7 years. And the Board itself remains concerned about the
8 potential for continuing delays. Delays in the excavation
9 program mean delay in initiation of important hydrologic and
10 thermal testing planned for the underground. It means added
11 costs to the program, because there's a lot mobilized now,
12 and every day the clock continues to tick on a mobilized
13 project is costing a lot of money. And there's also a
14 potential delay in meeting key decision dates.

15 I would like to review a few of the suggestions and
16 recommendations the Board made in its report a year and a
17 half ago. Some of these recommendations have been followed,
18 or DOE has been moving in similar directions and has already
19 achieved some of the things that we were suggesting and
20 recommending in the report. Others are in the process of
21 continuing or being investigated for potential in the future,
22 and some there may be differences of opinion as to whether
23 the items should be performed or whether there are other
24 alternatives. And so I hope that in the next day here, today
25 and tomorrow morning, we'll have the opportunity to discuss
26 some of these issues. I'd like to now look at several of
27 them.

28 The first one that we have is related to the
29 exploration, exploring across the geologic block. As
30 investigations have been planned, there has been some
31 substantial underground tunneling planned. But there are
32 some key items within these program that, as I see it, are
33 items that ought to be considered in looking up the
34 exploration program that's needed in the next few years. The
35 plan was to bring down from the North Ramp a drift that comes
36 down on a relatively flat ramp that comes across to the South
37 Ramp. That would be done with a 25-foot machine that is
38 presently being mobilized.

39 This exploration then allows observation of
40 conditions in the layers above the stratigraphy that exists
41 above the repository level. It won't be directly above the
42 repository at that point, but there will be opportunity to
43 see some of that strata as one comes down into the facility.

44 Other high-priority items are to be able to obtain
45 a full east-west traverse of the geologic block. This is
46 principally the area of the geologic repository itself. Most
47 of the major structures, as one can see here, are running
48 north-south. And so obtaining an east-west traverse of that

1 allows these major structures to be encountered.

2 If one were to come through and excavate across
3 with a drift from the North Ramp to the South Ramp, at that
4 point you would have seen the major structures, perhaps,
5 located on this side of the pen, the structures that are
6 coming up in this direction. But, in fact, that
7 orientation's a little bit off for the present plan. It
8 comes across like this. And so, one has an opportunity to
9 see structures here, but you are blind, really, to all the
10 structures that are running through in this direction. So
11 that's why the importance of the North Ramp extension as part
12 of the present plan, and also the South Ramp extension.

13 There are other opportunities to, as one goes along
14 various faults, though, perhaps the Ghost Dance Fault, and to
15 be able to take small side drifts off and to explore into
16 those areas and then to perform tests, hydrologic tests,
17 across those surfaces, to be able to find out what the
18 moisture content and degree of saturation is across surfaces
19 that go adjacent to some of the structures that are being
20 observed. Being able to first, then, find and fix the
21 underground structures, and then test across those features
22 as one finds them.

23 This is just a profile, looking across. It was
24 presented to us as a preliminary draft in the last meeting,
25 in April. You can see as you come down in the cross, with a
26 cross drift at the north end of the facility, of the geologic
27 repository area, that you go through stratigraphy above the
28 Topopah Springs level, which is the level at which the
29 repository would be placed. And then as you come across, you
30 do get through into the lower levels of the Topopah Springs
31 formation itself.

32 In addition, then, one would be able to see the
33 major structures that are crossing, that are principally
34 running north-south, in the geologic block.

35 Another area that we've discussed as a priority is
36 to find out what the conditions are like in the much softer
37 and less heavily fractured and less jointed material below
38 the repository level, basically within the Calico Hills
39 formation. And being able to obtain an east-west traverse
40 across it, and for comparison with conditions above, is
41 something that's been talked about as a high-priority item,
42 and I think it would serve as a very useful purpose to being
43 able to help characterize the fractures, faults and
44 conditions at the site. Not just at repository level, but in
45 the flow paths below the repository level.

46 Well, we've talked about exploration across the
47 geologic block. The other major purpose for getting
48 underground is to begin some of the testing that needs to be

1 done. We've briefly mentioned some of the testing that would
2 be done with the hydrologic-type tests, where you can find
3 the actual structures and then test across those to obtain
4 information on the geochemical characteristics as well as
5 flow characteristics across those surfaces.

6 In addition, I think one of the other major items
7 is to look at the thermal behavior of the rock. And this has
8 turned, I think, as many of us realize, into a much more
9 major concern in the past two or three years than perhaps was
10 anticipated prior to that time.

11 Since 1991, a strong rationale has evolved for the
12 argument that thermal effects will be the main cause of vapor
13 and water flow in the repository, no matter what the age and
14 burn-up of the spent nuclear fuel is and no matter what
15 thermal loading strategy ultimately will be chosen. This
16 rationale is based on models that are backed by very limited
17 data obtained from approximately a year of testing in the G-
18 Tunnel back in about 1989--G-Tunnel at the Nevada test site
19 in Rainier Mesa. No additional testing has been conducted
20 since that time. There hasn't been an opportunity within the
21 program to get underground. And the data gathered then,
22 which is really very limited in scope, is the only
23 underground thermal test data that's available to the
24 program. Because of this five-year hiatus in underground
25 thermal testing, the program currently lacks sufficient field
26 testing experience, proven instrumentation for underground
27 testing, and a well-developed strategy for testing thermal
28 behavior.

29 The large block test underway at Fran Ridge is a
30 step, and it provides an opportunity to develop
31 instrumentation and acquire field testing experience. But
32 there is still a need for testing within drifts to be able to
33 improve our understanding of the phenomena of the interaction
34 between the thermal environment and fluid and vapor flow.

35 Given the potential for the delay in the
36 construction of the exploratory facility, and further delay
37 in start of the thermal testing underground, there's a need
38 to reevaluate procedures for initiating thermal testing,
39 either in the geologic block or off of it, perhaps with very
40 small diameter tunnel-boring machines. And there's a need
41 for an excavation plan that's designed to facilitate machine
42 excavation rather than build a large core test area which has
43 a large number of intersecting drifts and alcoves.

44 I think the last item here is the summary that says
45 we should really be looking at a comprehensive strategy, an
46 overall program plan and schedule, with interim milestones,
47 in order to be able to carry out the exploration testing. We
48 need those goals that will help guide the program and help

1 establish the schedule that is needed in order to accomplish
2 the work that's required for evaluating site suitability,
3 site characterization.

4 There needs to be time within the program for,
5 obviously, not just to obtain tests, but to be able to
6 integrate those into the analyses and the models and to
7 understand what the results mean.

8 There are several items that we had on the ESF
9 report that had to do with the more construction-related
10 items. And certainly, in terms of excavating underground,
11 the objective is to be able to understand what the site is,
12 to be able to characterize the site. An objective is not to
13 achieve high tunneling rates or to advance the state of the
14 art of tunnel technology. The tunneling technology is quite
15 capable of being able to accomplish the things that are being
16 required of it on this project. But in order to be able to
17 get to the testing at the appropriate time, and to be able to
18 get the testing done prior to decision dates, it has to be
19 very closely correlated with the construction operation.

20 One of our recommendations was to delay competing
21 excavation until completion of the five-mile loop. And so
22 that when one is operating a tunnel-boring machine and has
23 mobilized for that effort, delays in completing that loop are
24 going to be very costly. And if you're trying to carry out
25 operations that are interfering, it can be a very difficult
26 process and cost the project money, and delay the time at
27 which you can actually get in and have access to do testing.

28 Now, I think that there are some options here that
29 we need to look at, and that are being looked at by DOE, the
30 M&O and the contractor. And he has a double track tunnel at
31 this point. There's the possibility, and the opportunity,
32 perhaps, to be able to tunnel or to do drilling on one track
33 and then still have access through on the other track. But I
34 think the main point here is to minimize the interferences
35 that will cause the progress to slow to the point that money
36 and costs are basically continuing and progress is not being
37 made.

38 One of the items that we recommended was use of
39 rail to support the tunnel-boring machine operation. And
40 we're very pleased to see in the last year the M&O went
41 further and was able to do things that even I hadn't
42 anticipated. And that was not only to be able to reduce the
43 grade across the repository to something on the order of two
44 percent, but also to reduce the grades of the ramps coming
45 down. That will provide much more efficient support of the
46 tunneling operation, and also has the opportunity to provide
47 support of the actual repository, if it were to be built, to
48 be able to bring in large diameter casks, heavy casks, that

1 might be used for, for example, a drift-in-place facility.

2 Then, the other item is that as this tunnel-boring
3 machine goes through, there's going to be opportunity, at
4 some point, to bring in smaller diameter tunneling machines.

5 And I understand there's some discussion about even using
6 some very small mini TBM's or even micro TBM's to be able to
7 excavate out small alcoves, to be able to do some of that
8 without interfering significantly with the advance of the
9 tunnel-boring machine. Some of those things need to be
10 looked at, and there needs to be a plan at this point, now,
11 to be able to bring these things to the project so that there
12 won't be large delays and that will even be able to follow on
13 to the actual work that's been done with the initial tunnel-
14 boring machine to get to the point of being able to cross the
15 faults, to maybe make an east-west traverse of the facility.

16 The small diameter machines are quite useful, not
17 only because small means less volume of material excavated
18 and better support conditions, but they're easier to use over
19 short lengths of the tunnel. You can advance them a short
20 distance and pull them out, and do that much more
21 efficiently, much more rapidly, at less cost than trying to
22 move a big machine in, stop it, and then pull it out. The
23 machine that's presently being planned for the five-mile
24 loop, the 25-foot machine, really would be very difficult to
25 move and back up any significant distances underground.

26 And then this is an item that I think is something
27 that the DOE has been working very hard to accomplish, to
28 reduce and simplify the surface and subsurface facilities and
29 utilities. I think early in the program there's a feeling
30 that the money would be there, that one could do whatever one
31 wanted to to build this facility. But we recognize that this
32 project is one in which there's certainly a limited budget,
33 that a very relatively small proportion of that budget is
34 available for actually doing the underground work, and that
35 using those funds to build permanent facilities, when one
36 could get by, for example, with temporary facilities, is not
37 the wisest use of the limited resources that are available on
38 the project. It's important to be able to get in and start
39 finding out information underground.

40 And so the things that the DOE is doing at this
41 point--for example, using temporary trailers and temporary
42 facilities, such as trailers, that are available to the
43 government, and using those at the surface rather than
44 building more permanent structures that might come later in
45 the program of an exploratory facility, or perhaps in a
46 permanent repository, if it were to be built.

47 Those are some things that I think are helpful, and
48 I think there's a lot more that can be done on that--looking

1 at testing requirements, looking at the support for the
2 testing, for example. Is a comprehensive data collection and
3 optical--fiber optic system necessary? What is going to be
4 best able to support the underground testing and the data
5 collection efforts? Those are all things that I think need
6 to be looked at, and there's more to be done there, but I am
7 pleased that there have been some significant efforts to try
8 to bring this project more to what one normally thinks of as
9 an exploratory facility.

10 Certainly, expenditure of large capital costs,
11 large capital expenditures, for an exploratory facility is
12 something that I don't think the project can afford much of.

13 There are several other points here that I'd like
14 to bring out. Developing the repository design in tandem
15 with the evolving ESF design, you can't do all of the
16 repository design all at once. There's not enough resource
17 to be able to do that. There are still things that need to
18 be studied and evaluated before that can be done. But
19 certainly enough advance has to be made with the repository--
20 and we've been told this by DOE and the M&O--they need to go
21 far enough with the repository design to be able to handle
22 the interfaces between the repository and the exploratory
23 site facility. And a good example of that was the effort
24 that was made to reduce the gradients of the ramps and to
25 make them fit an efficient ESF as well as a potential
26 repository.

27 Another item that I think we're very interested in
28 is the establishment of a geoengineering board. Some of the
29 issues that the Nuclear Waste Technical Review Board has
30 gotten involved in have seemed to be items that could have
31 been handled within a DOE venue, within the DOE itself. The
32 geoengineering boards are usually three or four individuals
33 who have had quite a bit of experience in underground
34 construction. These type of boards are commonly used on
35 projects such as the large hydro projects, they were used on
36 many of the metro systems with subway construction, and these
37 individuals are quite experienced. They don't replace the
38 competent staff that's present within the M&O, within the
39 contractor's organization that understand underground
40 construction, but they serve to, I think, assist management.

41 Not direct the program, but to assist and serve as advisors,
42 to help give a perspective, to give some confidence that the
43 project is moving ahead using the best approaches within the
44 state of the art of the industry. And I think many of these
45 individuals have been involved in projects where that
46 interface is so crucial--interface between testing, the
47 science, in other words, and the construction, to get the
48 scientists to those points that are important for the

1 characterization. That interface really is extremely crucial
2 in this project.

3 And then there are items here, some of which were
4 recommended--in fact, all of these were items that were
5 commented on, very briefly in some cases, in the report on
6 the exploratory facility that we did in October--and some of
7 these things are being addressed. On the management
8 structure, the cost of the program and the cost of the
9 construction, to be able to get as much as we can for the
10 money--to be able to economize on the actual cost of the
11 underground exploration itself so we can get to the end and
12 actually do the testing and the exploration. And then the
13 other item, to be able to look at the costs of other parts of
14 the program and see where the priorities are and how the
15 funds are allocated.

16 Those are issues that go beyond just looking at the
17 exploratory site facility, but they are issues that do
18 control our ability to do the technical things, to do the
19 science, and to do the things that the Nuclear Waste
20 Technical Review Board is concerned about.

21 We come on to contracting practices and incentives.
22 It's not just an incentive to keep the contractor going, but
23 certainly, if he knows that he is getting paid for meeting a
24 schedule and for meeting costs, he's going to have a totally
25 different attitude than if he's getting paid as a percentage
26 on everybody that he has on the job, and the more people he
27 has on the job, the more money he makes.

28 So those are some things that even within a program
29 where there's science and there are things that have to be
30 coordinated, those are things that I think need to be looked
31 at very carefully.

32 One of the other things is that having a contractor
33 with specific contractual goals also puts an onus and some
34 effort, a different perspective, upon the owner. He realizes
35 that he has to let the contractor do his work and get the
36 project done. So if it were that type of a contract, the
37 contractor wouldn't be able to bring a machine on the job, or
38 wouldn't bring a machine on the job, and then have it sit
39 there and not operate for several months, or only be able to
40 use it on a one-shift basis when he's mobilized to the point
41 that he could use it on a two- or three-shift operation. The
42 money continues to be spent in a situation like that, and if
43 the progress isn't being made, then that's one of the most
44 major costs that can occur to this program. Equipment
45 acquisition, the ability to obtain the equipment in a timely
46 manner, in a cost effective manner, so it can support the
47 work.

48 Well, those are some of the comments that I had. I

1 will be interested in hearing your comments in regard to the
2 things that we are saying, as well as we're interested,
3 certainly, in hearing your presentations today. So with
4 that, I think I'd like to move right ahead, because we are
5 ready to go ahead, in terms of time, with the next session.
6 We're a few minutes behind already, and I would certainly,
7 however, be interested in hearing your comments and reactions
8 to the things that the Board has been saying on this.

9 At this point, then, I would like to introduce Jean
10 Younker, who is going to be presenting a "Proposed Program
11 Approach: test program, site suitability, advanced
12 conceptual design, Title I and Title II design for the
13 repository, 100-year retrievability." Now, that's a title
14 for--Jean's given an hour and a half for this, and I've
15 already take a few minutes of it, so thank you, Jean, for
16 being willing to cover more than enough.

17 DR. YOUNKER: Well, the first thing I'm going to do is
18 change the title on what Dr. Cording just told you. It looks
19 like I'm going to hold this, too, since my pocket isn't big
20 enough to fit it into.

21 I represent, really, a lot of different people
22 today, because from top to bottom of the program, as you
23 probably could guess, with something as all-encompassing as
24 this new approach that we're evaluating. There are people
25 involved--the DOE top management have just been at an off-
26 site last week where they were looking at various aspects of
27 it from the policy and strategy level. And in the trenches
28 out here, the people who do the very detailed planning and
29 scheduling of the testing program and the design and
30 engineering folks have all been working on various levels of
31 details of planning for how this whole approach might impact
32 the program. And, of course, there are a lot of unknowns at
33 this point.

34 So what I'm really giving you is just a preliminary
35 status, a snapshot in time, and you can bet that almost
36 everything I say will probably change the next time we talk
37 about this topic. But that's what you asked for, so that's
38 what we're going to try to give you as best we can.

39 I tried to kind of parallel the title I was given;
40 however, I did make a few little changes in it. One thing I
41 will mention was that I planned it to be about a 30- or 40-
42 minute talk, since that's what was on the original agenda,
43 and so we should have some extra time either that you can
44 gain for your panel discussion this afternoon, Dr. Cording,
45 unless you guys ask me a lot of questions, in which case,
46 then, it might eat up the time. But I don't think time
47 should be a problem with this one.

48 What I'll do is step back a little bit and just

1 give you a little bit of background and overview to make
2 sure, for those of you who haven't gone back and thought
3 about kind of where we are and where this Proposed Program
4 Approach starts from. I'll give you just a little bit of
5 background. Then I'll talk about what we've been doing in
6 terms of implementation and planning of the new approach in
7 the testing program from a regulatory perspective and
8 performance assessment.

9 And once again, in each of these areas, I'm just
10 going to kind of hit on the high points, and then if you do
11 have questions, I've asked a number of people to be present
12 in the audience who can help kind of fill in any details you
13 might like to know, if those details exist at this point in
14 time.

15 I'll talk a little bit about site suitability,
16 because I'm sure you're aware that over the next four years,
17 until 1998, much of the emphasis in this new approach is
18 toward a milestone called the Technical Site Suitability
19 Determination, which is a new milestone for us. We're
20 attempting to understand it both from the top down and the
21 bottom up. What is the content of that Technical Site
22 Suitability Determination. We'll give you, once again, a
23 snapshot in time in terms of what we think it is, how we're
24 looking at it right now, and certainly that's open to change
25 as well.

26 Most of what I have to say about ACD or Title I and
27 Title II will really be just pointing to tomorrow's
28 discussions that Dean Stucker will talk with you tomorrow.
29 And the same thing's true, really, for any details on ESF
30 construction status. Bill Simecka's on tomorrow to tell you
31 about that, so I won't be saying very much about that at all,
32 except for a few things as it relates directly to the
33 implementation of the new approach.

34 Title I and Title II for waste package and
35 repository is really the same thing. We have people in the
36 audience who can answer specific questions when I get to that
37 part. But in terms of any new developments in that area, I
38 don't have very much to give you, because I think a lot of
39 our emphasis has been in other aspects of the Proposed
40 Program Approach. But there is probably some thinking that
41 could be shared with you.

42 On the 100-year retrievability, probably about the
43 same thing. Steve Brocoum gave you a presentation about a
44 month--or I guess two months ago, maybe--where I think he
45 probably said just about everything I have to say about that.

46 But we will go ahead and go through that with you, and if
47 that generates some questions, there are people who have been
48 trying to carry it further, but I don't have anything really

1 concrete to tell you that takes it much further than what
2 Steve talked with you about in Reno.

3 Okay, as I said, I wanted to start with this
4 overview that is one that Steve Brocoum has been using to
5 describe kind of the overall stepwise approach that we're
6 thinking about for suitability. I'm going to focus on
7 suitability for a few minutes. I'll come back to it a little
8 bit later in the talk. But I will end up spending a little
9 bit more time on that, maybe, than what you had asked for,
10 since this is supposed to be kind of ESF construction or ESF-
11 related talk, but I think it makes sense just to keep you
12 thinking about where we're trying to put our emphasis in the
13 next four to eight years.

14 I want to make sure that I give you the caveat that
15 this is preliminary. You know that the Department is
16 committed to a major stakeholder involvement on the whole
17 process for evaluating suitability. A meeting was held back
18 --I guess it was just prior to the high-level waste
19 conference. I think some of you sat in on it. And a lot of
20 good input is being received, and I think there's every
21 chance that a fair amount of change and evolution and
22 improvement in this process will occur as we factor in the
23 input that we're getting from the various stakeholders. So,
24 I think the best thing for you to understand is that this is
25 just a snapshot in time, and a lot of the things I'm telling
26 you will evolve with the input that we're receiving.

27 The main reason I laid this out for you is so that
28 I could, on the next three or four view graphs, pinpoint a
29 couple of specific points that I wanted you to think about
30 with me. One is that remember, as Dr. Cording mentioned, we
31 did lay out a site characterization plan in 1986--or '87 and
32 '88, which set us on the way for some surface and underground
33 testing. We had an environmental assessment prior to that,
34 in 1986. I want to mention that simply because that's one of
35 the bases, one of the precedents, if you will, for how we do
36 this Technical Site Suitability Determination in 1998.
37 That's very important, and we have to recognize it there as
38 our foundation.

39 The concept that comes along and is new in this
40 site suitability approach that you're seeing laid out as a
41 part of the Proposed Program Approach, is shown by this
42 little ripple effect of new milestones. And the idea here is
43 that as we have a good scientific basis for any one of the
44 Part 960 guidelines to be evaluated and essentially closed,
45 or a higher level of finding reached, as the jargon goes,
46 then the DOE is committed to going ahead with official--or at
47 least that's the thought right now--assessments that would be
48 presented to the public, reviewed by the public, and would

1 then become a matter of record that that particular
2 guideline, the scientific basis seems to be sound, and the
3 DOE then leads up to this Determination of Technical Site
4 Suitability, which I will come back to and talk about more.

5 But the idea there is that the reason it's called
6 Technical Site Suitability, for the most part, is that we're
7 talking about the technical guidelines, meaning--take Part
8 960, and I'm assuming now that the evaluation will be done
9 against Part 960. I suppose if the input received from
10 stakeholders was very, very strong, there could be even some
11 change in that. But I think our assumption has to be that
12 we're going to use 960. That is DOE's siting guidelines that
13 they developed per the Nuclear Waste Policy Act's direction.

14 I think that the technical site suitability, then,
15 just to be sure that you're thinking about it similarly, is
16 that you leave out the environmental, socioeconomic and
17 transportation guidelines. So set those aside and let those
18 go through the NEPA process, the Environmental Policy Act
19 process, the EIS process, as you would expect they would, and
20 look at just the technical aspects of Part 960 compliance at
21 this point.

22 I think I've heard it expressed by various DOE
23 people as a management risk decision. It's a point in time
24 where in 1998 it makes sense, if 2001 is still a feasible
25 date for a license application, it makes sense at that point
26 in time to take a look at where we stand, determine what our
27 status of compliance with Part 960 is, for the technical
28 guidelines, where you can. You won't be through with your
29 EIS process, so at that point it probably wouldn't make sense
30 to do that against your environmental guidelines, but at
31 least for your technical guidelines, determine how you stand,
32 and then proceed on with your environmental impact statement
33 process, or your EIS process that you must do per the Nuclear
34 Waste Policy Act.

35 In terms of the way the rest of the program then
36 supports that concept, that leaves us in a situation where
37 the Advanced Conceptual Design phase for a repository and
38 waste package both probably would be what would serve as our
39 basis for that Technical Site Suitability Evaluation. And
40 you might think that there wouldn't be that much engineered
41 system input into that technical evaluation, but there
42 actually is quite a bit. When I get a little bit later in
43 the presentation, I will mention a couple of points where the
44 fact that we would rely on an ACD phase of design does have
45 some impacts and is something that we need to take into
46 account as we plan for that.

47 As far as the other work that we have to do to get
48 ready for writing and issuing a license application, if

1 that's the decision, we'll continue our process of license
2 application revisions and topical report presentation. But I
3 think it's only fair to say that as we go along, we're going
4 to think real hard about which ones are most important and
5 tend to tailor them towards the ones that we need the
6 scientific basis for suitability as well, so that we're doing
7 the work in the order that it makes the most sense, given
8 that the 1998 milestone has been declared to be the very
9 important milestone by the Department.

10 This is a little refresher for you now, and some of
11 you have been through this so many times you don't really
12 want to hear me talk about this anymore. But back in the
13 environmental assessment days, the DOE had to use their
14 finding criteria, Part 960, to determine whether the site was
15 suitable for site characterization, at least to make a
16 recommendation, and a nomination was made by the president to
17 go ahead and characterize the Yucca Mountain site.

18 The way you do that, if you remember the jargon of
19 the guidelines, is that you go through each of the
20 disqualifying and qualifying conditions, one by one by one,
21 that are in Part 960, and you have to reach, for that
22 decision to have been made, at least a lower level of
23 suitability. And if you'll think with me for a minute, a
24 lower level of suitability, we're really just talking about
25 confidence. We're talking about all existing information
26 collected to date, when analyzed, looks as if I comply. The
27 qualifying condition is present, the disqualifying condition
28 is not present. So it's just a status, best available
29 information, where do I stand?

30 Now, when I talk a little bit later, since you have
31 lower level findings, you obviously have higher level
32 findings. And the higher level findings are exactly what you
33 would guess--moving to a higher level of confidence, where
34 you say, "All of the information I've collected to date, as
35 well as the information I think I could get in the future."
36 So you're betting on the come. You're thinking about what--
37 how wrong could I be would be one way of looking at it.
38 What's my basic level of confidence in my conclusion? The
39 higher level of finding statement is that existing
40 information supports my conclusion, and I don't expect future
41 information to change that. So it's a confidence decision,
42 where you're saying, "Any kind of site information or
43 analysis that I could do in the future, I don't think it's
44 going to change my conclusion." So that's this lower
45 level/higher level in the simplest term that I think I can
46 give it to you.

47 The next one is just historical. I don't really
48 have a point to make, other than to say that in 1988 we did

1 issue--DOE did issue the site characterization plan reviewed
2 by the NRC, and although the NRC raised some objections about
3 the content and some specific actions DOE had to take, it was
4 essentially "accepted," I guess, for site characterization to
5 formally proceed, as also was required by the Nuclear Waste
6 Policy Act.

7 Okay, now, as I just explained to you a few minutes
8 ago, this kind of wraps up what I was trying to say. For
9 that 1998 decision, as we see it now, the question that will
10 have to be asked is, "Are our higher level findings supported
11 on all of the technical disqualifying and qualifying
12 conditions?" And once again, that's that statement that
13 says, "Existing information supports the qualifying
14 condition, for example, being present, and I don't expect
15 future information to change it."

16 So, if you think in the probabilistic sense, you
17 have to think about what level of probability do I want to
18 place on that conclusion in order to go over to the higher
19 level finding. Clearly, in the lower level, you're talking
20 about interesting information, best available information.

21 So this one is betting on the--as I managed the
22 early--what was it called?--the Early Site Suitability
23 Evaluation, one of the things that you find with the people
24 that work in these kinds of decision making, the very
25 interesting discussion and debate you go through as you
26 figure out where people are drawing the line for existing
27 information, lower level findings, existing information, plus
28 predicting the future, higher level finding in terms of
29 probability. If this decision is made, then DOE would use
30 that as a--as I said--a management risk decision to go ahead
31 and prepare a license application for construction
32 authorization, which on the current schedule we show as a
33 2001 milestone.

34 Now, they can't complete the process. As we said,
35 the Technical Site Suitability doesn't completely address
36 Part 960, because you do have some environmental guidelines,
37 environmental quality, socioeconomic impacts and
38 transportation impacts that have to be looked at. And we're
39 assuming those would be looked at through the NEPA process.
40 And if that process is completed, we move into the next
41 document--or the next milestone that the DOE, by law, has to
42 prepare, which is a site recommendation report. The
43 Secretary would then recommend the site.

44 And I have a little asterisk here that's a very
45 important asterisk. But for those people who are in policy
46 and the political side of the program, this is a terrible way
47 to show this, so I apologize for that, but I was just trying
48 to say that between issuing the site recommendation report

1 and submitting a license application, Congress has to issue
2 this resolution repository siting and allow DOE to move
3 ahead. This is probably not the right way to represent it,
4 but this is basically saying that DOE gets the go ahead and
5 submits the license application.

6 Okay, now, that's the background and overview, just
7 to make sure you're thinking kind of like we are, at the kind
8 of philosophical level.

9 Let me tell you what we're doing now in terms of
10 implementation.

11 You know, clearly in our minds, behind all the work
12 we're doing, is the question of what kind of funding profile
13 will we really have, because, you know, there was a funding
14 profile underlying this Proposed Program Approach that Dr.
15 Dreyfus took forward. And I think you all probably hear the
16 rumors, just like I do. It doesn't look real hopeful that
17 we're going to come out at the level that we had hoped for
18 for '95. So I think we're all trying to maintain the
19 attitude that the better the plans are, the better you'll be
20 able to adjust no matter what your funding level finally is
21 for '95. So we're trying to keep our heads up and keep
22 working towards some good plans.

23 There's a group, as I mentioned, of DOE and
24 contracting personnel working to do both detailed FY '95
25 planning and outyear planning based on this new approach.
26 And the way it's working, and the way it has worked to date,
27 there was a group of USGS and National Lab people who worked
28 with me, and I was the person who was assigned to kind of
29 take the top level strategy and policy that was developed by
30 the DOE and the Management and Integration side of the M&O
31 and take it and pick up with a team of USGS and National Lab
32 people and kind of carry it forward one more or two more
33 steps, such that it could then be used as a basis for
34 planning. So we had quite a team of people, including some
35 M&O engineering side, as well as the representatives from the
36 participants.

37 Some of the people were the people that you on the
38 Board that have been around for a while have grown to know.
39 We tended to try to tap some of the people who understood the
40 SCP basis, so we could then evolve the SCP basis into this
41 Proposed Program Approach in a reasonable way.

42 So that information, then, as much as we could,
43 either on paper or just verbally, was transferred to the
44 planning people, and this includes the people that are doing
45 the detailed planning for '95 as well as the outyears. We
46 tried to help them in every way we could and get the
47 information to them.

48 The construction schedule for ESF and the test

1 plans are being analyzed and coordinated by some of the same
2 people, by some of Bill Simecka's people. And I think Bill
3 will tell you more about that tomorrow, so I don't have much
4 of anything. I'll come back to it just with a couple of
5 comments a little bit later.

6 The near term surface based studies to support
7 Technical Site Suitability are being identified, schedules
8 reviewed, and we're attempting to see if there's anything
9 that we can reprioritize or consolidate that will help us get
10 a better scientific basis by 1998. Clearly, DOE wants to be
11 in as good a position as they can for that Technical Site
12 Suitability Evaluation.

13 And then laboratory test plans are being looked at.
14 And here, particularly, if you remember what Steve Brocoun
15 told you in the Reno meeting, one of the key areas that we're
16 going to emphasize in the 2001 license application per this
17 approach is going to be high reliance on a robust canister, a
18 canister that has substantially complete containment; you
19 know, very high confidence. And so some of the testing plans
20 that are being looked at particularly are those that will
21 help support that in this time frame.

22 Okay, as far as Surface Based Testing goes, let me
23 tell you some of the things that we've been thinking about.
24 And this kind of comes from the group that I managed as we
25 handed off the information to the planning people, who have
26 to then worry about balancing dollars and schedules. The
27 things that we in the group looked at kind of what was most
28 important in the environmental assessment, what looked like
29 the major key uncertainties that gave us concern during the
30 early Site Suitability Evaluation, what have we done since
31 then, and where does that leave us.

32 And so the kind of information that seems to be key
33 to those of us who have looked at this are things such as the
34 nature of the steep gradient and the water tables. Those of
35 you who have followed the program know that the external peer
36 review panel for the unsaturated zone program told us this
37 back in, I don't know, '90 or '91. They said, "You know, you
38 really have to understand what that steep gradient is to the
39 northwest of the site." Not necessarily that it's a real
40 concern from the standpoint of suitability or license ability
41 of the site, but simply that if I don't understand it, if I
42 don't think you understand it, then you're not going to
43 convince me that you really understand the hydrologic system.

44 So it's what's controlling the position of the water table.

45 Flux at repository level. You've seen in the
46 performance assessment presentations that we've given you
47 that it is the one parameter that is most important, no
48 matter how you look at it. So anything we can do to get a

1 better handle on and a better definition of the range of flux
2 that should be used in our performance assessment models at
3 the repository level is obviously key.

4 Some of the new findings that you heard about, I
5 think, in the last meeting, some of the perched water zones
6 that have now been encountered in the deep drill holes. One
7 of the issues from a PA viewpoint, obviously, is where are
8 those zones, how continuous are they, could they possibly
9 represent a scenario for a fast flow path that's a diversion
10 below the repository over to a through-going fault, and then
11 give you a short circuit to the water table such that you
12 wouldn't get any matrix flow through the Calico Hills and
13 allow whatever retardation we can count on to occur. So
14 there's a question of what's the nature and what's the
15 spatial continuity, how old is it, how did it get there. You
16 know, some of those questions are going to be important for
17 us from a Performance Assessment viewpoint to figure out what
18 kind of credibility to give that scenario for some kind of a
19 diversion path.

20 And then, just the potential for the Ghost Dance
21 Fault as a fast flow path, I think, comes out in everything
22 we've done as one of the key questions that we need to get a
23 handle on. And I'll come back to that when we get to the
24 ESF.

25 A couple of things that specifically I know are
26 being done. From Susan Jones, the daily manager for the
27 scientific program side, reports that they're going to be
28 able to increase the number of drilling crews by eight in
29 mid-1995. So that will give us some impetus in the Surface
30 Based Program. That's based on, obviously, assumptions of
31 funding, and let's hope that the funding assumptions come
32 true. I don't know what assumption underlies that in terms
33 of distribution or allocation. I don't think anyone's--
34 Steve, did anyone show up from Susan Jones' group yet? We
35 were hoping someone was going to be here, so in case you have
36 questions specifically about the testing program.

37 And then consolidating testing into fewer deep
38 drillholes. Obviously, any time when you're trying to
39 maximize your return on your investment, that's one of the
40 things you always go through and look at.

41 Okay, now this is a little advance information on
42 what you'll see from Bill Simecka tomorrow, so I certainly
43 don't have the details that he can give you. But from
44 looking at the plans that are currently in development, the
45 way the plans look right now, there will be four alcoves that
46 are considered critical. We already have one, so that means
47 five, basically, until we get down to the--four alcoves to be
48 constructed concurrent with TBM operation in the North Ramp

1 to obtain data important to suitability, or information that
2 simply should not be left. You know, should not be passed by
3 during this first TBM phase of operation.

4 The North Ramp extension, I think you'll see some
5 plans from Bill, and I don't have the details, but I think
6 you'll see some plans to try to see, as Dr. Cording
7 mentioned, if we can't get a smaller TBM operational that
8 would allow us to do the North Ramp extension, perhaps, in
9 parallel with the main TBM driving south. If we're able to
10 do that, then that obviously gives us the possibility of
11 getting the heater testing going. It would be fairly high in
12 the Topopah Spring, but it still gives us the opportunity to
13 get some heater testing going earlier than if we had to wait
14 for the complete five-mile loop and then come back around and
15 start it. So this is being looked at as an option, and
16 you'll hear, I think, a little bit more about it in terms of
17 what the possibilities are from Bill.

18 Two additional alcoves to be constructed concurrent
19 with TBM operation in the Main North-South Drift that will
20 give us the earliest access to the Ghost Dance possible. And
21 I think the Ghost Dance Fault access, from the planning
22 viewpoint that I was involved in, we think that's really
23 important, because we think that if we do have a through-
24 going fault that can transport flux through the repository
25 area, that's probably our best bet. I mean, it does have
26 fairly good expression at the surface. We may see some at
27 depths that we don't see at the surface, but certainly this
28 one looks like one of our best bets.

29 And so getting as early as possible information on
30 that and then likewise having a contingency plan for Calico
31 Hills excavation such that, let's say for an example,
32 something that we thought about as the group worked together.

33 If we got over to the Ghost Dance at the Topopah level,
34 found that it was wet, found out that there was flux being
35 transported along it, the next key question that comes to
36 mind in everybody's case is, is that a continuous flow path?

37 What happens to it when it goes into the Calico Hills?

38 So I think many of us began to realize that
39 probably a decision point somewhere when you get the Ghost
40 Dance accesses opened up, and the ability to then--well, an
41 evaluation prior to that time that flexed the best access
42 option, which I know you have Dick Bullock here to talk about
43 one that his people have come up with. A look at those and
44 then a decision soon, before that time that we need it, to
45 develop the design such that once a decision is made, you can
46 move that direction, procure the equipment such that you
47 would be able to move in that direction at that time if you
48 find out that you have a damp zone next to the Ghost Dance.

1 You know, this may be naive, it may not be that
2 obvious or easy to make that decision, but it's something at
3 least--you know, I think, most of us felt if you do find that
4 it looks like the Ghost Dance is acting as a potential fast
5 flow path, you know the question of how continuous is it and
6 is it able to transport through the Calico Hills is going to
7 be an important question.

8 Just a few words about the regulatory and the
9 performance assessment side of this. The performance
10 assessment staff have been meeting and planning, trying to
11 figure out what kinds of analysis are going to be most
12 important to support this Technical Site Suitability
13 Evaluation. I'm going to go into that in just a little bit
14 more detail so I can say a few words about that. But, you
15 know, we want to get our next total system performance
16 assessment or some interim sensitivity studies geared toward
17 the information that's going to be the most useful in
18 supporting the scientific basis for Technical Site
19 Suitability. So some good planning is going into that. We
20 clearly don't want to forget what we need for 2001, but in
21 the shorter term, our focus is going to be getting the work
22 done to support the 1998 determination.

23 The License Application Annotated Outline, as I
24 mentioned earlier, we're looking at that, looking at what
25 revisions make sense, given where we'll put our emphasis
26 between now and 1998. And this, both for the Annotated
27 Outline and for Topical Reports, it obviously makes sense, if
28 the budget is limited, which we have to assume that it will
29 be, to put our money into those scientific information areas
30 that we're also going to be developing for suitability as
31 fast as we can. So we're going to try to piggyback the work.

32 Okay, I'm going to talk just a little bit more now
33 about the Site Suitability, since that is the part of it that
34 I know you have some interest in. This is just describing,
35 now, the current thinking on this, and this could evolve a
36 lot the next few times that we meet with you. This chart,
37 which is kind of small, but for those of you who have a hard
38 copy, you can follow along. I can, from this, tell you some
39 of the basic or key aspects of the approach as we've laid it
40 out right now.

41 Steve Brocoum talked about this in a general way in
42 Reno, and I want to tell you a little bit more about it, a
43 couple of key things about it, that I think might be useful
44 to you in terms of understanding why we think it's a good
45 idea.

46 You see that the Part 960 guidelines cover all of
47 the geotechnical aspects of the types of information that
48 anyone in your science community would think might be

1 important about this site. So if you look down through this
2 display of information, you will see all of the earth science
3 aspects of the site in various clusters of information. We
4 put the information together, the guidelines together, that
5 kind of fit together under a surface processes type of
6 heading. We also grouped the ones together--in fact, in this
7 case, it's just one guideline, the preclosure rock
8 characteristics that aims at the constructability and the
9 ease with which engineering measures can be applied in this
10 environment. We grouped the ones that are seismic, hazard,
11 long-term tectonic impacts and volcanic effects.

12 And this grouping, if you follow on through it, was
13 done for a very specific purpose, and that is that if you
14 think back at the way--in my particular experience--when we
15 had the Early Site Suitability Evaluation Peer Review Panel
16 set up, one of the things that I think the Board criticized
17 us for, and it was a reasonable criticism, is that because we
18 had only one Peer Review Panel covering all fifteen
19 guidelines, then we could only be one or two deep on any one
20 of the disciplines. So that our Peer Review really had to be
21 heavily influenced by one, or maybe two, strong individuals
22 in terms of the outcome on a specific subject area.

23 This approach is hopefully going to allow us--if we
24 can manage this, set it up and manage it right--to have a
25 Peer Review Panel convene just to address the surface process
26 aspects of Yucca Mountain, or just to address the seismic
27 hazard and tectonic hazard aspects of Yucca Mountain. And by
28 doing that, we think we can get around that one significant
29 criticism, which is that a strong reviewer could really
30 influence the outcome of the peer review. In this case, we
31 would have a three- to five-person panel, maybe larger for
32 the ones that are controversial, that would evaluate the
33 scientific basis for any one of these particular topics that
34 will support, then, DOE's regulatory determination as to
35 whether they believe they can go ahead and make the decision,
36 the higher level finding decision, for the guidelines that
37 are built on that scientific information.

38 This is another key point, and I want to be crystal
39 about it if I can. In the Early Site Suitability Evaluation,
40 we mixed the regulatory assessment and the scientific bases
41 information together. What we're doing in this planning, at
42 least, is to separate them completely, such that the peer
43 reviewers would be asked to review the scientific bases. Is
44 this good quality information? Are the technical
45 interpretations valid? We would ask them those kinds of
46 questions. We would not ask them the question, is there
47 enough information for DOE to make this decision about
48 suitability of the site.

1 So you're asking the Technical Peer Review Panel
2 members the kinds of questions that for the most part they're
3 prepared to deal with. I found on the Early Site Suitability
4 Evaluation when we asked the Peer Review Panel members to
5 comment about whether there was enough information to make a
6 decision about suitability, that was something that was
7 completely out of their league. I mean, they just would not
8 --that wasn't something that most of them were prepared to
9 think about if they'd never been in a regulatory environment.

10 So I think this separation into the scientific
11 bases and the regulatory bases, regulatory information,
12 should give us some real advantage and should help DOE to
13 communicate much more clearly with both the Peer Review
14 Panel, the technical peers in the country and
15 internationally, and with the stakeholders who want to be
16 involved, and who will be involved, I'm sure, in the way DOE
17 takes that information and then makes policy decisions about
18 it.

19 DR. PRICE: Dr. Jean? Dennis Price, Board. Could you
20 help me interpret this drawing up here. You've got pairs of
21 lines and upside down triangles and explosion symbols.

22 DR. YOUNKER: Right. Those explosions are DOE making
23 decisions. Draft decisions, however. Yeah, let me walk you
24 through one of them, and take a simple one, like the surface
25 processes one. Idea was that there would be a report,
26 scientific bases, technical bases, for this particular type
27 of information prepared. There would be a peer review, of
28 the type that I described, of that report. And then, in this
29 particular case, DOE would evaluate the results of the peer
30 review, and if the conclusions seemed to be such that they
31 felt comfortable, they would go ahead and make a regulatory
32 assessment or higher level finding. And I have another chart
33 that I can kind of talk about this more easily.

34 But basically, the idea was that each of these
35 packages of information would go through the preparation of
36 the technical information, the peer review, and then the DOE
37 action, which would then start the stakeholder involvement,
38 full fledged, where DOE would issue a draft finding and put
39 it through a full stakeholder review.

40 DR. PRICE: So the first upside down triangle is the
41 start of the preparation--

42 DR. YOUNKER: Yeah. It's--

43 DR. PRICE: --of the report.

44 DR. YOUNKER: --sloppy usage of scheduling terms, but
45 that's what it is. It's just the beginning and the end of
46 putting that report and information together. Clearly,
47 there's lots of work going on that feeds data into this area
48 of information. So it isn't as if it starts there. There's

1 all of the work that's ongoing that has anything to do with
2 surface processes, is feeding information, technical reports
3 being written. At that point, we would begin formally to
4 assemble them into a package that could be prepared for peer
5 review. That was the idea.

6 It's a little confusing, the details of this, so
7 one more, since Dr. Price asked. Some of them, like if you
8 come down into this area, you'll see a lot of the upside down
9 triangles and not very many of the explosions. There's a
10 reason for that, and that is that when you get into some of
11 these areas of information, like geochemistry, postclosure
12 rock characteristics and, particularly, geohydrology, those
13 are guidelines where if you look at them, you will find that
14 the conclusions on those guidelines are tied very strongly to
15 total system performance. And so you'll notice that on most
16 of these, barring one exception, which I'll come back to, the
17 conclusions related to that package of guidelines don't occur
18 until you get down here and have a total system performance
19 assessment that has been performed on the basis of that
20 information. It's been peer reviewed, and then DOE looks at
21 the results of that and decides whether or not they can
22 support higher level findings.

23 The one exception to that, which is an important
24 one, is that explosion there, and that's ground water travel
25 time disqualifying condition. That one really doesn't rely,
26 at least not directly, on the outcome of the Total System
27 Performance Assessment evaluation, so that one we've shown as
28 a separate milestone. But for the most part, these
29 qualifying conditions that go with each of the postclosure
30 guidelines, if you think about--I know them by heart, I know
31 you don't, but the wording on each of them comes to something
32 like compatible with containment and isolation, compatible
33 with waste containment isolation. So you're always going
34 back to Total System Performance.

35 DR. PRICE: What is the dashed line?

36 DR. YUNKER: The dashed line says we're going to start
37 on this a little early because it's going to take us a while.
38 We didn't want to start formally until we had information
39 from the peer review of the geohydrology, because that's such
40 an important part of this TSPA. But we received comments
41 from reviewers who said, "Well, you know, if you wait to
42 start until your completed geohydrology report and peer
43 review is available, you really are cutting yourself too
44 short to meet this 1998 milestone," which we barely got into
45 1998 as it was. So it's still very schematic, but that was
46 the idea.

47 This is the chart that I was going to show. This
48 is also one that Steve Brocoum has just had prepared and used

1 for the--I guess it was just for the off-site last week,
2 Steve?

3 MR. BROCOUM: Yeah.

4 DR. YOUNKER: Yeah. So this hasn't been used anywhere
5 else, and it's totally preliminary, as I added to the title.
6 And it's one that kind of helps you think about where we are
7 in terms of what the steps would be like once you get that
8 technical information together. Well, we're doing our
9 testing and analysis, we developed the technical basis that I
10 was talking about, then DOE makes that decision that I was
11 talking about a moment ago. Does the information look solid?

12 Are the analyses--did they receive good, solid peer review,
13 or do I need more tests or further analysis? Further
14 sensitivity studies could be needed at that point. So the
15 idea is that DOE formally decides what to do on the basis of
16 the results of the peer review.

17 And at that point, if they go forward, then a
18 regulatory assessment, meaning regulatory compliance
19 evaluation. Do I have the information sufficient to support
20 a higher level finding on a particular guideline? If they're
21 ready to make the finding, then they go through, issue the
22 finding, and then at this point in time, a set of particular
23 steps are envisioned, public meetings, issuing the guideline
24 assessments, having a Comment Response Document developed on
25 the basis of feedback received from stakeholders. And then
26 the final efforts that would make RW-1, which is Dr. Dreyfus,
27 to S-1, being the Secretary, the formalism of this being a
28 DOE conclusion.

29 Okay, shifting gears just a little bit over to,
30 what do we need to feed into this Site Suitability
31 Evaluation? I know Dr. Cording and McFarland have both--we
32 have talked about this a little bit in terms of what will it
33 mean when you're basing your information on an ACD phase of
34 design. Well, I was thinking when I was listening to Dr.
35 Cording talking at the beginning, you know, the perspectives
36 are interesting, because if I look at it from an almost
37 tunnel vision 960 viewpoint, the list of things I think I
38 need from engineering are pretty different than the things, I
39 think, that he told you--or told all of us--that he thinks
40 are very important about understanding the site.

41 So if I look at this kind of from a 960
42 perspective, what's most important? What are the key
43 uncertainties feeding into the 960 evaluation? Well, one of
44 them is to have some subsystem release predictions--release
45 from the waste package, release from the engineer barrier
46 system--that are credible. That's one of the things, you
47 know, in our performance assessments right now that are very
48 weak, to say the least.

1 The seismic design basis is one that I'm sure Dr.
2 Cording would agree is very important from the standpoint of
3 preclosure safety and preclosure operation. That's one that
4 if you look at previous 960 evaluations, we've said we need
5 additional information, needed the hard data on fault slip
6 rates as well as the engineering applications of what does
7 that mean in terms of the kinds of facilities I have to
8 build. That's key input that we'll have to have in order to,
9 I think, support the higher level findings for the 960
10 guidelines.

11 Another one that's important are the preclosure
12 radiological release. Now, the first one, the subsystem
13 release, I was talking about postclosure. I was talking
14 about meeting your subsystem requirements from Part 60 for
15 one part in 10 to the 5th, you know, engineered barrier
16 release rates, and 300 to 1,000 years substantially complete
17 containment by the waste package. That's what I meant there.

18 Here, I'm talking about your radiological release
19 predictions in compliance with Part 20. So we're talking
20 about Part 60 brings in Part 20; Part 960 brought in both 20
21 and 60 in this case. 960 says you're going to be able, with
22 some confidence, to show that you meet the Part 20 worker and
23 public health and safety criteria. So, preclosure
24 radiological release predictions, a design that allows me to
25 give some good bounding release data will be essential for
26 this Technical Site Suitability Evaluation.

27 I think if you look at the Peer Review Panel
28 results on Early Site Suitability Evaluation, what the person
29 who is the expert in this area said was, "I don't think I see
30 anything about this site that will make it particularly hard
31 for you to design a facility that will meet those limits, but
32 show me. You don't have anything to show me in terms of
33 accident and normal operational calculations." So we expect
34 by that time, given the plans that the design side is put
35 together, to have a good, sound basis for those types of
36 calculations in 1998.

37 One of the guidelines requires you to make an
38 estimate of whether you have adequate good quality rock. So
39 just the lateral extent, and the adequacy of that lateral
40 extent of good quality rock, is one that will be important to
41 us in terms of--this is kind of a short list of filling in
42 the significant holes in Part 960 compliance, if you will.

43 The last one, rock quality, once again, the issue
44 of constructability and any question of any kind of health
45 hazard related to the rock materials that we have to mine
46 through.

47 So those are some that--and this is certainly not
48 the complete list, but this is a list for you to think about.

1 Now, when we talked in the beginning, I said I was
2 going to kind of jump through these topics that were on my
3 agenda item. The other thing that I think, from talking with
4 Russ prior to the meeting, that you guys were most concerned
5 about and most interested in was the thinking behind this
6 whole sequential, from a 1998 Technical Site Suitability to a
7 2001 LA, to a 2004 Construction Authorization, and then the
8 updated license application in 2008.

9 The concept underlying this that you heard Steve
10 Brocoum present was that we were trying to look at what kind
11 of information level we believe we had to have in order to
12 give the Nuclear Regulatory Commission the basis that they
13 needed in order to make the decision that they have to make
14 at each of these steps. And so, you remember--I think Steve
15 talked about it, or at least I know he used this chart--where
16 we talked about many of our calculations will have to be
17 conservative and bounded in the 1998 time frame with regard
18 to the repository waste package design.

19 In the 2001 time frame for this approach, you
20 notice that, as I said earlier, we're going to put a lot of
21 our effort into making the best arguments we can for the
22 waste package compliance with substantially complete
23 containment. You'll see that these abbreviations are
24 terrible for those who don't know the program, but Sub Cmp
25 Con is Substantially Complete Containment, and the idea is
26 that our arguments would be as complete as we can make them
27 for their intended purpose.

28 And you should always read this chart, when it says
29 "Final," you should always read it as final for its intended
30 purpose. It doesn't mean that we won't learn any more or
31 that we wouldn't update our understanding, but it means that
32 as we were thinking about it within the environment of this
33 program plan, for its intended purpose, we think that's
34 adequate, or that's enough for us to build the basis.

35 So if you look at one of these I arrowed, because I
36 knew that was one I was going to talk about, I'll mention
37 another one that I know you're interested in. Retrievability
38 is one that you listed on the title for my agenda item. And
39 the idea here is to have a Title I maturity of design for the
40 2001 application, a Proof of Principle by the time that the
41 NRC grants the construction authorization, and for the
42 updated license application to receive and possess waste, we
43 would have demonstrated that design. I have a couple of
44 other view graphs that follow that give you a little more
45 detail on that.

46 The other one I know that Dr. Cording mentioned
47 that is such a concern to everyone is the areal power
48 density, which is in the bounded state out through the

1 license application in 2001 with the decision deferred.
2 Dean, I believe, Stucker, will talk a little bit more about
3 the way we're going to approach that. But I know that's one
4 that--rightfully so--will get a lot of script and a lot of
5 questions.

6 This is the one where I said I have people in the
7 audience who can answer further thinking on this, but I
8 wasn't really going to go into any more detail. I think I'll
9 leave it for questions to raise anything about this chart,
10 because it's really not my field, and I feel like I would
11 want to refer it to other people if you do have questions.
12 Maybe that's even best to hold for the panel discussion. Is
13 that reasonable? Do you want to take questions on this right
14 now, or do you want to just--

15 DR. CORDING: Why don't we go ahead, and we can cover
16 that later.

17 DR. YOUNKER: Okay. As far as specific retrievability
18 goes, let me make the comments that are in here, and that is
19 that for the 100-year retrievability, the way I think the DOE
20 is looking at this--and these statements come right from Dr.
21 Dreyfus' briefing to the Commission, which was a week ago or
22 so, two weeks ago.

23 Maintain the capability to retrieve for up to 100
24 years. And this is, of course, a real issue of what's the
25 funding basis for this, if you really designed for it, will
26 the funds still even be around. So there are a lot of
27 questions related to this one. It's a very, very potentially
28 controversial topic. But I think the current wording that
29 I've heard, and some other people can probably update me even
30 more, is that we would design for the 50 that's required by
31 law, but we would maintain some flexibility and an option, if
32 you decided to go on beyond the 50 years, that you could. So
33 I think it isn't that you would design for 100 years, but you
34 would obviously design for the 50 required, and then keep an
35 option open that you could go longer if for some reason that
36 was decided to be the prudent thing to do.

37 And the wording that Dr. Dreyfus used in his talk
38 as well was that amendment to close would be filed--close the
39 repository permanently would be filed--when confirmation
40 results provide an adequate basis for this action. So this
41 is that idea of keeping the flexibility such that until
42 performance confirmation gives you that level of confidence
43 that you, the DOE, want to make the decision and go to the
44 regulator and say, "I think I have adequate basis to petition
45 you to close this repository," that you wouldn't take that
46 action. And that's where you maintain the retrievability.

47 DR. PRICE: Jean?

48 DR. YOUNKER: Um-hum.

1 DR. PRICE: Does that 100-year clock start ticking when
2 the repository is ready to close? In other words, when it's
3 full or when the waste package is in place?

4 DR. YOUNKER: No, this includes the 50 years that we
5 would have designed for anyway, so this is just 50 more on
6 top of the 50 that's required by law.

7 DR. PRICE: Yes, but it says "after emplacement," and I
8 was just trying to understand whether--

9 DR. YOUNKER: Oh.

10 DR. PRICE: --that's the emplacement of a waste
11 package--

12 DR. YOUNKER: Yeah.

13 DR. PRICE: --or if it is any individual--the first
14 waste package in place--

15 DR. YOUNKER: I think it's--

16 DR. PRICE: --and once it's in, it starts the 100-year--

17 DR. YOUNKER: Yeah, it's of a waste package, I believe.

18 Let me look for a nod back there.

19 DR. PRICE: Initiation of--

20 DR. YOUNKER: Initiation, right.

21 Okay, and then if you look at the information I
22 have backing this up--and this is the kind of information
23 that I didn't think you wanted to detail, but we certainly
24 have people who can answer it. The idea, for those who are
25 interested in this, that 2001, that Title I design would
26 include waste package handling option, drift re-entry option,
27 and off-normal operation plan.

28 Then, at 2004 on the chart, it said when you're
29 assuming, at the end of three years, so you were getting your
30 construction authorization if everything went according to
31 plan, you would have matured to a final design with a Proof
32 of Principle for selected retrievability position, and you
33 would have any unique equipment prototype built and tested.

34 Then, when you move to 2008, which is when, on the
35 current schedule, you go in for your licensing application
36 update, to receive and possess waste, then you would have
37 done an operational demonstration using simulated conditions
38 in the repository if possible. Once again, that's open to
39 exactly how you would do it, but the idea would be--it would
40 be best, I think, if you could do it in the actual repository
41 area somewhere.

42 And I didn't put a summary in because I couldn't
43 think of how to summarize such a diverse presentation, except
44 to say stay tuned. I think there are a lot of pieces
45 evolving all at the same time, a lot of good thinking, a lot
46 of good effort is going on. Hopefully this was helpful to
47 you to give you some idea of where we're heading.

48 DR. CORDING: Thank you, Jean. Some of the terms are

1 new to us, and the idea of prioritizing the program and the
2 testing is something that certainly seems desirable. I think
3 one of the questions I would have is to how the schedule ties
4 into this. For example, if the Exploratory Studies Facility
5 is delayed, something happens and it's delayed a year beyond
6 whatever the present schedule is--by the way, I'm not sure
7 what that is at this point--what is that going to do to the
8 dates that have been set, 2001, 2004, 1998?

9 DR. YOUNKER: Yeah, well, I'll give you my own opinion
10 and then I'll defer to one of the DOE people if they want to
11 make a statement on that. I think it depends on what level
12 of confidence the DOE management in place wants to have. I
13 mean, if the technical community is saying you really do need
14 a certain amount of information from in situ testing or from
15 excavation, then I would assume they would have to seriously
16 consider slipping the dates. But, Steve, I don't know, have
17 you thought about that? Do you want to comment? This is
18 Steve Brocoum.

19 MR. BROCOUM: Steve Brocoum, DOE. Dan has been
20 absolutely clear, you know, in front of the Commission and
21 all the presentations made. If we go down and do some
22 testing and we find out we've got to do more testing because
23 the results are not clear enough or are ambiguous, then we
24 have a reason to do more testing. He just doesn't want to
25 start slipping dates now, before he has any real reason to do
26 so. So when he has a real reason, the dates will be
27 reconsidered. So he's been very consistent on that all
28 through time, since this PPA has started.

29 DR. CORDING: But wouldn't there be certain of the
30 objectives at this point where you know that you want to get
31 to certain points and have that information before certain
32 dates, and that if one doesn't attain that program, then you
33 have to end up changing the dates?

34 DR. YOUNKER: Yeah, well, I think one of the ones that
35 certainly has been, from the group that I worked with, one of
36 our key concerns, is getting access to the Ghost Dance fault
37 and observing whether or not it has any evidence of currently
38 transporting fluid prior to 1998, prior to the site
39 suitability decision. Because I think most of us feel that
40 the ground water travel time disqualifying condition, that
41 the DOE would be on kind of shaky ground if they tried to
42 evaluate that without having some idea of whether that
43 through-going fault is in fact acting as a conduit. And so,
44 that would be one where I suspect the input and
45 recommendation from the technical side of the house would
46 probably be "We're not sure you want to go forward with that
47 Technical Site Suitability if you haven't got over to the
48 Ghost Dance and got some information in situ.

1 DR. CORDING: I can see how one has to recognize that
2 there are going to be things encountered underground that
3 will differ, that you have to be flexible in the planning on
4 those sorts of things. But at the same time, it seems to me
5 that if one goes into a program and says, "Okay, we've got
6 these dates here, and no matter what happens--" The
7 impression is that this is what the program is, is that you
8 have a certain date, no matter what happens in delaying our
9 ability to do the science, that we're still going to hit
10 those dates and we're going to be able to declare the site
11 suitable. Perhaps that would be true with some issues, but
12 just continuing to delay starts and delay the actual work but
13 holding that other date constant is something that I think
14 would have an impact on the credibility of the program.

15 MR. BROCOUM: I just want to make a comment here. Maybe
16 you can put that very early slide up that showed you the
17 step-by-step for suitability. And that's a conceptual slide,
18 but the key thing here is, you can demonstrate progress
19 through time by accomplishing those steps. But whether you
20 do one step a year or two steps a year really depends on a
21 lot of things as to how good your information is, how much
22 money you're getting, how successful you were getting
23 underground.

24 So this strategy allows you to demonstrate progress
25 over three or four years, or for some reason if you need more
26 time, over a longer period of time. The key thing is you're
27 demonstrating progress. That's a very important concept
28 behind this stepwise--as we're calling it--or step-by-step
29 suitability process.

30 DR. CORDING: Questions from the Board? Dennis Price?

31 DR. PRICE: You said it was interesting to hear people
32 discussing how to draw the probabilistic line for qualifiers
33 and disqualifiers and the lower and higher confidence. Could
34 you give us a little more insight as to what's going on
35 there? And how are these lines being driven? It seems to me
36 that that is a soft area that's rather important.

37 DR. YOUNKER: Well, actually, what I was referring to
38 was the way we thought it through and did it as a part of the
39 Early Site Suitability Evaluation. And in those days, I
40 think you've heard about the way we did it there, which was
41 to not be as explicit about the probabilities as what I think
42 some people would have liked us to be, although we did go
43 through some exercises and actually try to attempt to find
44 out what the range for someone to say, "I think the
45 information supports a higher level finding for a particular
46 guideline." We attempted to go through and for the team
47 doing that, find out what the range of probabilities were
48 that they had in their heads. It was very interesting.

1 Sometimes they were almost coincident, sometimes they were
2 all over the place.

3 But right now, I think that the effort to kind of
4 put together the way DOE will proceed with those regulatory
5 assessments is just--we're working on it right now. I
6 haven't been involved in any real discussions about it.
7 Steve, have you had some that you could share?

8 MR. BROCOUM: I want to make another point here, and
9 that is we issued a notice of intent. We had a public
10 meeting on the 21st of May. The afternoon part was all
11 focused on suitability, getting input from the public on how
12 we should approach, including whether and how we should use
13 960. That public comment period closes on the 24th of June,
14 so everything you're seeing here, really, is almost
15 preliminary.

16 After we get all those comments, we plan to assess
17 all that, think about it, and come up with a proposed
18 approach, hold two workshops in August, one here in Las Vegas
19 and one back east in Washington, DC, and then we'll proceed
20 from there. We're intending to come up with a process by--
21 we're hoping to be able to put a process in place by
22 November, but that all really depends on the comments and how
23 the workshops go.

24 DR. YOUNKER: And I think that the way they're going to
25 approach that in terms of the actual step from the scientific
26 conclusions to the regulatory conclusions is going to be one
27 of the key areas that's going to take some real effort.
28 You're exactly right.

29 DR. PRICE: Another question I have is, how are the
30 estimates of radiological release predictions that are going
31 on for pre- and postclosure affected by the discussions of
32 criticality, and what kind of interaction is going on between
33 those?

34 DR. YOUNKER: For that one, I need to call on a resource
35 person. Is there somebody here who would like to answer that
36 question? You may have to take the question--oh, there's
37 Hugh Benton.

38 MR. BENTON: Hugh Benton with the M&O. They are tied
39 together. Our concern over the criticality is tied to our
40 concern over the release. We have not progressed to the
41 point yet of being able to tie these together quantitatively,
42 although that work is in progress. We are making some good
43 progress and expect to make more next year.

44 At this point, we are fairly well along in
45 establishing the conditions that we have to guard against for
46 potential criticality control, and we have been focusing on
47 that part of the work up front. As we get that completed,
48 we'll be able to more and more focus on the potential results

1 of some unplanned criticality and what effect, if any, that
2 would have on the overall release.

3 DR. PRICE: So criticality, then, is a site suitability
4 issue right now as you approach it?

5 MR. BENTON: We are considering that we are governed by
6 10 CFR 60, which indicates very restrictive conditions under
7 which a criticality would be allowed to occur. So we are
8 focusing on meeting that portion of 10 CFR 60. If we meet
9 that, that will mean that the probability of a criticality is
10 so low that we would not expect it to have any effect on
11 suitability, or even any particular effect on release rating.

12 DR. PRICE: I have one more question. When you referred
13 to the canister and lab tests, did you mean by that the
14 canister as a waste package, with the overpack, or what does
15 that mean?

16 DR. YOUNKER: You mean when I was talking about
17 rethinking the--

18 DR. PRICE: Yes.

19 DR. YOUNKER: --testing program? I was just making a
20 very general statement that in order for us to have the kinds
21 of arguments to support the 2001 license application, I know
22 one of the areas that people are really looking at is the
23 near field environment tests and the laboratory tests that
24 support those, as to what kinds of testing can we do that
25 will help us get the best information on materials, corrosion
26 rates, you know, that information, in the time frame. I
27 don't think I was nearly as specific as what you're talking
28 about.

29 DR. CORDING: Questions from staff? Bill, Bill Barnard?

30 DR. BARNARD: Bill Barnard, Board Staff. Jean, you
31 showed us a slide that outlined various elements of the ESF.
32 There were five bullets, which include alcoves and ramp
33 extensions and access to the Ghost Dance Fault. You
34 mentioned that you felt you needed access to the Ghost Dance
35 in order to make your Technical Site Suitability Evaluation.

36 How about the other components, the other elements, of the
37 ESF, how are they related to your evaluation of site
38 suitability? Have you looked at that?

39 DR. YOUNKER: Well, yes. I think that the fact that the
40 two things you see on the slide--well, three things--allow
41 earliest possible initiation of heater testing, access to the
42 Ghost Dance Fault at the earliest possible time, and then a
43 good contingency for Calico Hills--is not a coincidence. I
44 mean, those three are on there because the carefully thought
45 through--as carefully as we could--the complete spectrum of
46 things that could be important in the ESF. And I think the
47 technical group that worked with me, at least, would say
48 those are the key areas that will do the most in terms of

1 giving DOE a good scientific basis for a Technical Site
2 Suitability Evaluation.

3 DR. BARNARD: Are you implying that you need to complete
4 the heater testing before a Site Suitability Evaluation can
5 be made?

6 DR. YOUNKER: No. I think the wording is also
7 important. "Earliest possible initiation," meaning that--I
8 think from the standpoint of 1998, we're probably not as
9 concerned with having had a couple years of heater testing
10 done, but certainly for 2001. I think most of the people on
11 the team would feel much more confident if we knew that we
12 could get a couple of years of testing done prior to the 2001
13 license application.

14 I think for Technical Site Suitability, the
15 reliance on the bounding case is just going to have to be
16 understood, because there's almost no way that even with the
17 work-arounds that they're talking about right now--and I
18 think Bill Simecka can maybe address this tomorrow when he
19 talks, or later. I don't know that we could get much time in
20 that North Ramp extension prior to 1998.

21 This kind of is a roll-up of what's important for
22 both 1998 and 2001 from the standpoint of the team that I
23 worked with.

24 DR. CORDING: Jean, is there a schedule overall for this
25 now, for the ESF?

26 DR. YOUNKER: I think--where's Dr. Simecka?

27 DR. CORDING: Will Bill be talking about that tomorrow?

28 DR. YOUNKER: Where did he go? He disappeared. I think
29 he intends--I've seen his view graphs, and I believe there
30 are schedules at least that get you down to this point,
31 certainly. Where did he go? Oh, there he is.

32 DR. SIMECKA: I can't hear you.

33 DR. YOUNKER: Oh, I'm sorry. In your presentation
34 tomorrow, you're going to cover a schedule that shows the
35 plan schedule at least for the ESF construction, right?

36 DR. SIMECKA: (inaudible response)

37 DR. YOUNKER: Right. So you'll get some schedule
38 information from him.

39 DR. CORDING: It just seems that the linking of this is
40 so key, as how one approaches the construction and what
41 decisions are being made at different times.

42 DR. YOUNKER: Yeah, I think you're--

43 DR. CORDING: They're not independent, obviously, and
44 you can't go ahead and set dates without knowing that you're
45 going to get to reasonable points. There may be some
46 adjustments you make underground when you see things, but--

47 DR. YOUNKER: Yeah, I think you're exactly right. One
48 of the--

1 DR. CORDING: --you've got to have a plan.

2 DR. YOUNKER: --one of the most critical trade-offs, I
3 think, is going to be getting the technical basis that you
4 want for 1998 versus trade-offs of how much excavation we're
5 going to be able to do given limited funding. There's no
6 doubt that's going to be one of the most difficult decisions
7 I think DOE managers are going to face.

8 MR. MCFARLAND: Yes, Jean, Russ McFarland, staff. Jean,
9 am I correct, in 2001, the DOE will have completed
10 preliminary design of the repository, which by definition is
11 all alternatives have been evaluated, all trade-off studies
12 have been completed, and we will have a definitive design, a
13 design that is essentially frozen; is that correct?

14 DR. YOUNKER: I don't think that's--is that correct,
15 Kal? Kal Bhattacharyya, if you want to come forward and
16 address that.

17 MR. BHATTACHARYYA: This is Kal Bhattacharyya. By
18 definition, Title I says the design will be frozen, yes, you
19 are correct in that respect.

20 MR. MCFARLAND: Good. Thank you.

21 One other question, Jean. In the preliminary site
22 suitability decision schedule, you show the use of peer
23 review boards on seven different occasions.

24 DR. YOUNKER: Um-hum.

25 MR. MCFARLAND: Could you amplify the peer review
26 process, who will be selected, where will they be selected
27 from? What's your thinking on that whole process?

28 DR. YOUNKER: I have not been involved in the details of
29 planning that, but Steve Brocoum has, and let me ask Steve to
30 answer that one.

31 MR. BROCOUM: Well, of course, again, we're waiting for
32 comments from the public. One of the things we're thinking
33 about is to have a process that is actually independent of
34 DOE. In other words, the stakeholders, various groups, DOE
35 itself can suggest peer reviewers for each of the--we call
36 them--buckets. But this independent group actually selects
37 the peer reviews and manages the peer reviews. So we're
38 thinking of having a peer review process total independent of
39 DOE. One possibility might be the National Academy of
40 Sciences, for example. We had a meeting with them last
41 Friday and discussed those possibilities with them.

42 MR. MCFARLAND: Then a number of sources, it hasn't been
43 firmed up yet?

44 MR. BROCOUM: No, it hasn't been firmed up. Some
45 suggestion is to get the international community involved.
46 We had a suggestion from the state to talk to the National
47 Science Foundation, and we're going to do that. There are
48 numerous suggestions along those lines. The idea is to have

1 a peer review that's credible on the scientific work on which
2 we will make the regulatory assessments. That's the whole
3 purpose.

4 DR. CORDING: Dennis Price?

5 DR. PRICE: Dennis Price, Board. You indicated that
6 you'd focus on the earliest possible acquisition and analysis
7 of key suitability data on the PPA, and you talked about fast
8 paths. Some of us don't live as close to the program as some
9 of the rest of you, and I'm wondering, what is the latest of
10 discoveries on perched water, and also the depth of faults?

11 DR. YOUNKER: Well, let me see. I'm looking for a face
12 out there. I don't think we have anybody that can really
13 give us that. I don't know--oh, Bob Craig, there we go.
14 Come forward, Bob. Bob Craig from USGS.

15 MR. CRAIG: I thought I had the low-profile seating in
16 the back. This is Bob Craig, I'm a Deputy TPO of the USGS.
17 And maybe I'll ask you to kind of expand. Let's start with
18 the perched water one, and maybe I can fill in the blanks.
19 I'm a little uncertain what it is that I can tell you.

20 DR. PRICE: What can you tell us about perched water
21 right now? Are you running into a lot of it?

22 MR. CRAIG: We have two instances I can think of off the
23 top of my head, two different boreholes, both in Drill Hole
24 Wash, where we have found water that one, it has some
25 component of drilling fluid, polymers that were used in the
26 early '80's when we were drilling out there. This is UZ-14
27 and NRG-7A, one of the ramp exploration holes just down at
28 the curve in the North Ramp, where it approaches into the
29 block.

30 Certainly UZ-14--and I wasn't in Reno, but I heard
31 the substance of Al Peterman's talk--the strontium isotope
32 data shows the component that suggests naturally occurring
33 precipitation and infiltration in from the surface in the
34 water in UZ-14.

35 I'm trying to think of anything else. Still
36 getting some analysis such as isotope data, other isotope
37 data, that might lead to information on age and such.

38 DR. PRICE: How about depths of the faults?

39 MR. CRAIG: That one kind of threw me. They're deep.
40 Maybe you can expand on that one, that's kind of a wide
41 open--

42 DR. PRICE: The reason I'm asking both of these
43 questions is I have read in the newspaper reports that you're
44 finding lots of perched water, and that the faults are going
45 much deeper than originally anticipated, like 3,000 feet, and
46 stuff like that.

47 MR. CRAIG: Yeah, some of the newspaper articles, of
48 course, are from a layperson's viewpoint. The faults, I

1 would have been surprised if they were just shallow, near
2 surface things. Some of the very preliminary information
3 we've seen, and some of the geophysics is indicating--and
4 they go to some depth--what is the displacement and amount of
5 permeability, the brecciated zones, the fracturing. Those
6 are the things that are going to be important. I suspect
7 some of this was evolving around the Sundance Fault.

8 That's still kind of an open question. In fact, as
9 we have had some discussions within the Survey very recently,
10 including last week, there was a field trip amassed as a peer
11 review group to go out and look at some of the evidence in
12 the field. This is within the Survey peer review, so I just
13 want to make certain you understand it's not a DOE project
14 wide peer review. Those results should be out in a few
15 weeks. That's probably about all I could tell you.

16 DR. CORDING: One question that maybe Bob can
17 participate in here is on the drilling crews, the number of
18 crews you talked about, with the eight for mid-1995, does
19 that involve additional drills or more crews for shifts?
20 What sort of equipment is that referring to? Maybe you can
21 answer that, Bob?

22 MR. CRAIG: I'll have to quickly admit I'm going to
23 speculate some. I think it's additional shifts rather than
24 rigs, but I don't know that for certain.

25 DR. YOUNKER: I think that's right.

26 DR. CORDING: Jean, is that--

27 DR. YOUNKER: Yeah. I saw Glenn Vawter's been involved
28 in the planning from the M&O side, and he was nodding his
29 head, additional shifts would be added.

30 DR. CORDING: So it would be the LM-300 going to three
31 shifts and then some other rigs that are out there as well?

32 DR. YOUNKER: I see some heads nodding.

33 DR. CORDING: Okay. And then the fewer deep drillholes
34 refers to the dry drilling, is that right?

35 DR. YOUNKER: I think that's right.

36 DR. CORDING: Are there other questions from the
37 audience or the Board, consultants? Carl?

38 DR. DI BELLA: This is Carl Di Bella, Board staff. I've
39 got a question about the 100-year retrievability. Three
40 months ago, I guess it was, the paradigm shifted from 50
41 years retrievability to 100 years retrievability. In the
42 ensuing three months, have you done any design work to
43 indicate what, for the initial repository, will have to be
44 different to get that additional 50 years retrievability, if
45 anything?

46 DR. YOUNKER: Yeah, I--

47 DR. DI BELLA: And along with that, are there any
48 additional costs involved?

1 DR. YOUNKER: I think I'll hand this off to somebody
2 back in the audience. But remember, I said that Dr. Dreyfus
3 was very clear that the way he's thinking about it right now,
4 at least, is 50 years is what you would design for, but with
5 some option and some flexibility maintained to go longer if
6 you decided you need to. But, Kal, go ahead, Kal
7 Bhattacharyya again, if you have some comments on what you
8 all have been thinking about.

9 MR. BHATTACHARYYA: This is Kal Bhattacharyya. You
10 probably are aware that a system maturity study is being done
11 for this recurrent issue, which started earlier, a little
12 while before this 100-year came by. So that should shed some
13 light on the cost and effective maturity.

14 As far as if we have done some design, not really.
15 We just basically have taken the position that--our key
16 assumption is that maturity is going to be optional and
17 remains 100 years. I suspect that it will affect the design
18 in some ways, because it does extend the plant life, if you
19 will, from, say, 50 to 100 years, which is more than a
20 typical plant life. We haven't really thought through it,
21 but maybe in a month or two we can tell you a little more
22 than that.

23 DR. DI BELLA: Should I ask the question at the next
24 Board meeting, then?

25 DR. YOUNKER: Sounds like it.

26 DR. CORDING: Bill Barnard?

27 DR. BARNARD: Bill Barnard, Board staff. I have another
28 related question for Kal. On the 100-year retrievability,
29 does maintaining that capability also involve developing the
30 storage capacity to retrieve and place the waste outside the
31 repository if after 100 years you decide that you wanted to
32 pull it out?

33 MR. BHATTACHARYYA: That is again being studied in the
34 system studies that I talked about a little bit, and I think
35 Dean Stucker and various DOE people are aware of that, and
36 maybe can add to that. But that's being also looked at as a
37 part of that.

38 DR. YOUNKER: Yeah, that might be something--I don't
39 know, Steve, did you want to say something about that?
40 Because that would be very much a policy level call, I would
41 think.

42 MR. BROCOUM: I should have heard the whole--what was
43 the issue?

44 DR. YOUNKER: The question--well, go ahead, Bill.

45 DR. BARNARD: If you develop a retrievability
46 capability, does that also include the development of storage
47 capacity outside the repository for all the fuel inside?

48 MR. BROCOUM: You need to have a retrievability

1 capability under the current program, okay? And you have as
2 much time to take it out; if it took you 30 years to put it
3 in, you have 30 years to take it out under the current plan,
4 without extending the retrievability option. So you have
5 time to plan for someplace to put it, because you have that
6 amount of time it took you to put it in.

7 DR. YOUNKER: But is it DOE's role, are you responsible
8 for having a place to put it if you did have to retrieve? Is
9 that what you're asking us, Bill?

10 DR. BARNARD: That's a related question--

11 DR. YOUNKER: It sounded like it.

12 MR. BROCOUM: I think you probably have to have a place
13 to put it, sure, obviously. I mean, you have to have a
14 viable retrievability plan.

15 MR. BELL: Mike Bell, NRC. Could you help me out with
16 what maintaining the capability to retrieve means in terms of
17 whether or not you backfill drifts or keep them open?

18 DR. YOUNKER: Why don't we ask Kal again what's the
19 current thinking of your people on that?

20 MR. BHATTACHARYYA: This is Kal Bhattacharyya. At this
21 point, our intention is that we'll backfill only after a
22 decision about whether to retrieve or to close it is obtained
23 from NRC. So that's what we are going through.

24 MR. BELL: In that case, I'm just curious as to how the
25 extension of the 50 years to 100-year capability coincides
26 with the hot repository concept, because I would think the
27 heat generation and heat transfer situations at 100 years
28 would be much reduced versus 50 years. I mean, it looks like
29 an enormous impact on the design.

30 MR. BHATTACHARYYA: Off the top of my head, I think that
31 there will be some--the area which might be impacted is the
32 maintainability, so we may have to think about something if
33 you do it only 50 years that we did not have to preplan for a
34 regular maintenance. If it is a 100-year, maybe we have to
35 design so that the maintenance could become easier when the
36 maturity has occurred, that we could easily enter the
37 repository and maintain it for the purpose of retrieval.
38 That's the primary difference I see. I don't particularly
39 see that much of a difference.

40 When you talk about 50 years, you have to remember
41 that this is 50 years after first emplacement. If you add
42 another 30 or so years for construction for maturity and the
43 retrievability itself as of--even previously, you're
44 designing the repository for about 86 years' life. And now
45 you're designing the repository for something like 136 years.

46 But there isn't that much of a difference in time between 86
47 years and 136 years as opposed to 50 years and 100 years. So
48 at 86 years, a repository could be quite hot, as a matter of

1 fact. Does that answer your question?

2 MR. BELL: Well, I think we'll want to take a look at
3 it, but thanks.

4 MR. BHATTACHARYYA: Okay.

5 DR. CORDING: Okay, thank you. Jean, I think you took
6 the time, an hour and a half minus my extra time, and thank
7 you very much. And we'll certainly have more discussion on
8 this in the discussion session later.

9 I'd like to continue, then, in our schedule here,
10 and have our presentation by Alden Segrest, which is on
11 "Application of Commercial Practice to Cost-Effective
12 Products." It's certainly an interesting case study that the
13 M&O initiated to look at the cost of doing work at Yucca
14 Mountain. So, Alden, we're looking forward to your
15 presentation.

16 MR. SEGREST: I'm going to pass the first slide, get
17 into the second. What are the objectives of trying to apply
18 this more cost-effective engineering and construction method
19 to the facility of the Mountain?

20 I took a look, the program definitely needs a better
21 approach for managing estimated costs and schedules. We've
22 got the various approaches to all the design requirements,
23 the DOE requirements we're following, but we need to take a
24 good look at whether we're effectively managing what we are
25 doing. As we get into the construction phase, there's got to
26 be a lot more emphasis on cost control so that we can
27 accomplish all that needs to be accomplished with the funds
28 available.

29 Aside from just managing the costs and schedules,
30 we need to add some consistency to it to make sure that we
31 are time after time doing our estimates in a consistent
32 manner to have a credible basis for all the costs and
33 schedules we develop. And we need, over and over again, to
34 look for potential targets where we can reduce costs, where
35 we can improve our work process as we continue design and
36 construction of this facility.

37 Now, let me give you some background as to why this
38 came about.

39 I will give you an interpretation of what that
40 first bullet means. What that first bullet means is that
41 some cost estimates for some facilities, primarily a
42 warehouse, went to Dale Foust for his review. When he saw
43 the cost estimate for the warehouse, he got spun up a little
44 bit about why it costs so much to build a warehouse. That
45 was the high level review of the engineering and construction
46 cost estimates. We also told him what it would cost to build
47 it. And he just really didn't think it was reasonable for
48 anything to cost that much, even if it was associated with

1 Yucca Mountain or any other project.

2 So, then, for the second bullet, at his insistence,
3 we did a thorough cost analysis of the design of the
4 construction, what it would cost to design and build that
5 warehouse. We went into all the details, gave that
6 information back to him, he came back to us, we went back to
7 him. So we went through this process of why it was costing
8 so much to design and build that warehouse and what we could
9 do to try to get those costs under control. That is an
10 interpretation of those two bullets.

11 Now, the third bullet is something that we've got
12 to learn, we've got to remember as we go through this process
13 with a project of this nature. A rigorous application of all
14 of the requirements that are in our requirements documents,
15 that are in the DOE regulations, that are in the regulatory
16 documents, the rigorous application of those requirements is
17 mandatory. It's required, we've got to follow it. But at
18 the same time as we're designing and developing these
19 facilities, we need to look at the requirements, decide
20 whether they are logical and reasonable for what we are
21 doing, and if they're not, we need to question and challenge
22 that. If we go back and question some of the requirements,
23 it may very well be that they can be waived on a particular
24 facility because of the nature of the facility and the
25 purpose. So we, as engineers, need to continuously look at
26 what we're doing, make sure the requirements are appropriate.
27 Sometimes there is a tendency to overapply the requirements,
28 and we need to go back and question those.

29 The process we used was, first of all, to identify
30 generic approach. We actually identified it as we did it the
31 first time. We identified an approach as to how we would do
32 the estimates, what we would include. We did the initial
33 estimate. As I say, we went through a little iterative
34 process with management. That is what we refer to as "tuning
35 the estimate." We got management concurrence on the
36 estimate.

37 And now we need to go through with what we've done,
38 develop a plan, so that we can institutionalize the way we
39 approach this warehouse across this program. We're trying to
40 get it first done within the M&O, and as we get that done,
41 then we'll probably move it out to other elements in the
42 program, other participants, so that we can, just as a
43 general rule within this program, be consistent and apply
44 some kind of a method to assure that we are controlling
45 costs.

46 The initial basis of estimate which was prepared
47 just included the sections identified here. There was a
48 scope of work--and I'm going to walk you through much of what

1 was in that initial basis of estimate--do a comparison basis
2 for what it would take commercially to design and build a
3 facility versus what it takes on this specific project.
4 Summarize those results, present all the details to go with
5 it. Look at the cost differences. And it's not just a
6 matter of justifying the cost, because some of them I'm not
7 sure you can justify, but it's explaining why the costs are
8 different from a commercial estimate to the cost on this
9 project. Explain why it is that way. Identify places where
10 perhaps we can save some money, save some time and cost with
11 building this. And then we do an evaluation of the approach
12 for designing and constructing the facility and decide if a
13 different approach, a different methodology, should be taken
14 for that facility to try to make it work at a more reasonable
15 price.

16 Now, the scope of work, as I've already identified,
17 was a warehouse. Now, this is not some kind of a unique,
18 super sophisticated nuclear warehouse. It's a warehouse
19 building 10,300 square feet; it's a 9,000 square foot floor
20 plan with a 1,300 square foot mezzanine. It's got your basic
21 provisions for general storage, some secure storage,
22 mechanical equipment. It's got offices, toilets, lockers.
23 The general warehouse receiving and storage usage is
24 occupancy B2. That's just a designation of non-combustible
25 storage per Uniform Building Code.

26 Now, if you see anything unique or sophisticated
27 about this warehouse, let me know.

28 It's Type II non-combustible construction per
29 Uniform Building Code, clear span structural steel. If
30 you've ever seen what's referred to as the Butler Building or
31 Pre-Engineered Building, this looks very much like one of
32 those. Steel columns, concrete foundation and pad,
33 prefinished, metal roofing, siding. It's a twenty-foot eave
34 height. We'll have fifteen-foot shelves in there. There are
35 two recessed truck well/loading docks.

36 Continuing on with the definition of the warehouse,
37 we have roof canopies over the loading docks, automatic fire
38 sprinklers. That, in itself, is not unusual. There's
39 probably some rather expensive test equipment, so forth, in
40 this warehouse. The last thing to do, electric power and
41 lighting throughout. The offices will be air-conditioned.
42 The remainder of the warehouse will be ventilated and heated.

43 Fully insulated building. That's not unusual. The
44 mechanical systems do require an Energy Conservation Analysis
45 per a specific DOE order. And there is also a Fire Hazard
46 Analysis which is required per another DOE order. We
47 mentioned those for a reason, which you will see shortly.

48 Now, what are the results. The way we did the

1 comparison, we wanted to see what it would cost commercially
2 for TRW or someone else needing a warehouse at the site
3 location to build it. So we go to the "Means Construction
4 Cost Data." That's the best place to go. But even when you
5 use Means data, if you compile an estimate using Means data
6 and competitively bid that for a warehouse, you'll be high,
7 you won't win the job. So we chop that estimate by twenty
8 percent.

9 Developed a cost estimate--I'll show you the
10 numbers shortly--that's based on our experience with
11 competitive bidding. So that is the cost estimate we'll use.

12 Now, in that estimate, we assumed Nevada rates, we assumed
13 union labor, we assumed a distance from Las Vegas. So we
14 tried to match it up to what it would cost at this location
15 to the extent we could.

16 So, here's what you've been looking for all along,
17 the numbers.

18 Construction costs. The construction of this
19 warehouse at a Yucca Mountain site, just over a million
20 dollars. Now, if it was just a commercial basis, \$376,000.
21 That's based on our Means data, with twenty percent
22 reduction. So you can see about a three to one cost ratio
23 there.

24 The engineering cost--I don't like to talk about
25 this, because I guess I'm responsible for this--the
26 commercial cost for this would be \$79,000, project cost
27 \$292,000.

28 And now, for this type of facility that I've
29 described to you, there are some things that are going to
30 raise the cost of it, but I'll just ask you if you see any
31 reason why I should raise it that much. We didn't when we
32 looked at it, so we felt something should be done about it.

33 I don't know all the details of the construction,
34 and I'm not going to try to speak for the constructor on some
35 of his costs--I'll give you some ideas--but from the
36 engineering standpoint, we could do a fairly detailed cost
37 analysis, and we did it, and this is just a summary of that.

38 I'll call your attention to certain things.

39 If you will take and look at Yucca Mountain cost--
40 this is all in terms of work hours, by the way--the Yucca
41 Mountain cost versus the commercial cost, and you look at
42 each of these pairs as to how it compares.

43 The Common Activities column here, this represents
44 things like supervision, that's common, that's shared
45 between--well, our engineers are designing a warehouse, so an
46 operations facility, test lab, whatever else they're
47 designing. That's kind of hard to pin down to a particular
48 facility, it's spread across a lot of them, but this is the

1 share that would probably go to the warehouse. But you've
2 got that activity, you've got all the various design reviews,
3 which are done--we have a 50 percent design review, 90
4 percent design review. Those are very time-consuming. We
5 have a lot of interaction with various participants, with our
6 customer.

7 One of the things on this particular facility that
8 we spent a lot of time doing earlier is trying to find out
9 how big it was. I think there were--I didn't go read the
10 requirements--I believe there were twelve pages of
11 requirements that we had to meet on this facility, but we
12 weren't told how big it was. So that took some time, a lot
13 of interaction with participants, with the laboratories and
14 so forth, to make sure that we were providing enough space.

15 So you see generally a fairly big difference
16 between what it should take on a normal commercial job just
17 for supervision, for common activities of that nature, versus
18 what it takes on this project.

19 Drawings, you see some differences. In the
20 architectural, an extra 50 hours associated with drawings.
21 Structural, not much difference. And the electrical and
22 mechanical areas there are some significant differences.

23 The specifications required, based on the process
24 that we use here, versus what we would do on a commercial
25 job, if we were building it just for TRW or University or
26 someone.

27 Calculations. Now, this Calculations also includes
28 analysis. I mentioned earlier some of the analysis
29 associated with Energy Conservation Analysis, Fire Hazard
30 Analysis. You see in the commercial case each time it's 0.
31 That would just be some back-of-the-envelope analysis or some
32 engineering experience applied to it. There wouldn't be a
33 lot of calcs. Not likely to be any, according to this. So
34 you can see how much that adds to the job. Most of that is
35 actually some analysis that is required, more than what you
36 normally think of as calculations.

37 So what's the justification for all these
38 differences?

39 Let me hit construction first. Construction,
40 without trying to pin it down to specific dollar amounts, if
41 you look at what's required for this project and this job--
42 and this is a generic explanation, not specific to the
43 warehouse, but to general facilities or construction that is
44 done on the site.

45 The QA/QC program requirements, if you look at any
46 nuclear program, you've got extra requirements. You can look
47 at the commercial program, anything that was built on a
48 nuclear site, nuclear power plant site, would typically cost

1 more because the requirements, a lot of them are applied
2 across the board as far as site access, security associated
3 with it, and so forth. And the people you will have on-site
4 working will be fully trained in QA requirements. There are
5 a lot of overheads associated with that. So when you apply
6 the QA/QC program requirements, it affects a lot of costs
7 other than just the QA areas.

8 Government requirements. There are some
9 significant requirements and orders which apply to this
10 project. Well, to any DOE facility.

11 Special project requirements. We've got a lot of
12 environmental stipulations, water usage, etc., related to
13 this site, all that are very necessary, they're required.

14 Remote location. A hundred miles from Las Vegas,
15 and then we've also got special access requirements as far as
16 the security requirements to get onto this site, work on this
17 site, distance travel, so forth.

18 Then we have a non-competitive situation. On this
19 particular site, where you have a contract for the site,
20 designating the site, you don't go out and compete everything
21 that's done. Of course, that would be difficult to do with
22 all of the requirements associated with security, QA, etc.,
23 on the site.

24 So construction costs are going to be higher, some
25 higher. We've identified approximately how much, but didn't
26 break down the differences like I've been able to do within
27 engineering.

28 If you look at the engineering cost differences,
29 the commercial design cost, in terms of hours that we would
30 anticipate on this project, would be 1,320 hours. Now,
31 earlier I showed you a commercial cost of \$79,000. If we
32 adjust that for the hourly cost associated with this project,
33 it is up to \$97,000. There are a lot of reasons for that
34 hourly cost as far as the nature of the people you have
35 working on this job, the experience requirements, a lot of
36 training over here and so forth, that will cause the cost to
37 be higher on this job.

38 Extra analyses and BFD preparation, 650 hours.
39 That is just extra requirement. We have to do a lot of
40 traceability of requirements. We have to develop a BFD
41 document, a Basis for Design document, for requirements
42 traceability. The extra analyses are associated with the DOE
43 Fire Hazard and Environmental Analysis. Or not
44 Environmental, it's Energy Conservation, excuse me.

45 Reviews and coordination activities. My
46 engineering supervisor spent a great deal of time interacting
47 with the participants concerning the design reviews and the
48 requirements, resolving comments from design reviews. Some

1 facilities, perhaps the warehouse, perhaps some others, maybe
2 should be exempted from that requirement. Save a lot of time
3 and effort. Perhaps once we go through and establish the
4 size and location of the warehouse, then leave it alone.
5 Just go design it and build it.

6 Additional design products--these are additional
7 drawings, additional specifications, so forth, that are
8 required--715 hours.

9 And this rework due to scope changes, a lot of that
10 is also associated with the design reviews. We will go
11 through, develop a product, get to a certain stage, and then
12 as it is reviewed, there are likely to be changes in scope
13 that causes us to have to rework some of the design. It
14 might change the size, might change the color, the height.
15 Various things can change during that process. It's been our
16 experience they add to the cost. In this case, we've
17 assigned about \$50,000. Also, some of that work, by the way,
18 in this particular facility, I guess really most of that
19 50,000 has already been spent on this facility.

20 So what do we do? How are we going to get the
21 costs down? We're going to drop the requirements
22 traceability. That saves about \$16,000. I will tell you we
23 had some discussions two weeks ago, as we're getting ready to
24 proceed with the design of this. We've already made the
25 decision to modify the design requirements, such that the
26 number of requirements will be substantially reduced. We can
27 still do the Basis for Design, but the Basis for Design,
28 instead of being based on twelve pages of requirements, will
29 be based, probably, on one page of requirements. So rather
30 than eliminate the BFD, we're going to go back and correct
31 the process from the beginning, to try to improve the way we
32 have to approach the design.

33 We can exempt the design verification requirement.

34 Since it's a non-Q building, I'll just eliminate that
35 requirement. It doesn't take any further authorization to do
36 that. We will eliminate that requirement and save about
37 \$25,000 on the facility--on the design of it.

38 Then we will be making the request to get exemption
39 from the Energy Conservation Study for this warehouse.

40 Another potential cost savings is to go with a
41 performance spec. I'm going to show you how much we can do
42 with the engineering right now with these numbers. If we
43 went to a performance spec rather than what we've done, we go
44 to a specification which describes the warehouse, describes
45 the requirements of it, go out for bid for the warehouse, go
46 bid it instead of continuing to do the detailed design, the
47 spec itself could be developed commercially for about
48 \$37,000. Of course, with all the differentials that apply on

1 this job, end up needing about \$45,000 just to do the spec.
2 If we still do most of the DOE orders, I guess all
3 the DOE orders, you need another 120,000. We can pull back
4 on some of those, we believe, with some waivers, so that we
5 can actually still reduce this number, but we still come up
6 with a cost of 164,000, 165,000.

7 And this rework, as I say, most of this has already
8 been done. We've done a lot of work. We've already been
9 through the 50 percent review on the warehouse, made a number
10 of changes, kind of an iterative process in getting the
11 requirement defined for this. But then we come up with a
12 cost of \$215,000 versus doing the entire engineering job, all
13 the detailed engineering, versus nearly 300. So we've
14 definitely got some potential for savings here.

15 Since we've already started some of this process,
16 this will not exactly describe how we're proceeding, because
17 we're making some decisions as we go. We're already taking
18 some steps to reduce the cost here as we work so that we will
19 be approaching this number. It would be nice if we could go
20 below it. But we are working to cut the cost of that
21 already.

22 Now, we have estimated the cost of construction at
23 the Yucca Mountain site to be \$555,000. Don't go challenge
24 REECo with that number, because we have not worked it through
25 them. This is based on some of our own estimating. And I
26 don't want to put them on the spot for that number, because
27 they have not reviewed it in detail.

28 And what we recommended in doing this particular
29 facility is doing a performance specification--Engineering
30 would do a performance spec. And it also recommends that
31 REECo competitively bid construction of the warehouse as
32 opposed to using their own construction force to do that.
33 There are several reasons to do that. If you go out and look
34 at this type of a commercial facility, there are companies
35 out there that engineer these, and they have, generally,
36 constructors they work with that can put these up. That's
37 their normal practice. They can go in and put one up very
38 quickly. REECo, given this warehouse spec, would probably
39 make the purchase, and then they, in their normal process,
40 would make a decision based on the type of construction force
41 they had available at the time, the amount of other work they
42 had going, and whether they could be competitive doing it
43 themselves. We go through this same decision process. We're
44 kind of second-guessing them here because of the force
45 they've got at the particular time and the work load, and
46 assuming that would be the best way to go. They would have
47 to actually confirm that decision themselves.

48 The other thing which we saw from the other numbers

1 would cost about, what, \$75,000 more, go ahead, since we've
2 gone this far with the full design package, rather than
3 performance spec, and REECo still competitively bid the
4 construction.

5 The first option probably would be the most cost
6 effective to apply here.

7 Now, the implementation plan, we've gone through
8 this in the warehouse, and we're starting to actually apply
9 this, but what do we do from here? We've spent some money
10 going through the analysis more than we probably would
11 otherwise. But to go through the analysis, this has been
12 somewhat of a test case to see what we think we might could
13 do to be more cost effective in our design.

14 With the implementation plan, we did utilize this
15 Basis of Estimate Outline on that initial estimate. Where
16 should we apply it next? We should take a look at all the
17 major free-standing surface structures and go ahead and apply
18 it to them. There are specific areas of the underground
19 facility we should apply it to. We'll have to do it quick,
20 because design for that is moving rather rapidly, and the TBM
21 is just about six weeks from--the systems, if we look at
22 specific systems, mechanical, electrical, for supporting the
23 ESF, we could apply it there. And then there's portions of
24 roads, drainage features.

25 Now, the truth of the matter is, I'm already
26 applying it. We've determined that we need to look at the
27 conveyor system. That is an area where we think we can get
28 some immediate payback, so we're going ahead. The next area
29 we're applying this Basis of Estimate method to will be the
30 underground and aboveground conveyor systems. That, we're
31 looking at a very near term purchase as soon as we can get
32 the specification out the door. That was supposed to happen
33 today; hopefully, it did. But evaluate the conveyor purchase
34 and installation. There are some possibilities there because
35 of some used equipment available that we may be able to save
36 a significant amount of money, and perhaps some significant
37 time, if we can go ahead and come up with a better method on
38 the conveyor.

39 What we need to do in applying that is go ahead and
40 identify, in priority order, where we have the greatest
41 potential for savings in these major job areas. We can look
42 at the Surface-Based Testing facility and Roads. We can do
43 that. What I'll most likely look at first is these lower
44 four, because those are within more direct control of what
45 I'm doing as far as the surface buildings, surface roads, and
46 the various underground facilities and systems. Since I have
47 direct control over those, I can implement the method for
48 estimating, and then go ahead and very quickly implement some

1 cost savings as we go through design development and release
2 of those packages for construction.

3 I will tell you that anywhere we've presented this
4 so far, we've presented this--well, it's been discussed with
5 some of the management of DOE, with REECo's management, with
6 some other participants--the response has been very positive
7 that we're moving forward to try to do this. In fact, that's
8 why I'm here today. This presentation was made at the
9 Project Management Review. The end of April, Russ go a hold
10 of the slides from that and invited me to come do it here.
11 So we're getting some pretty good reception as far as the way
12 we're trying to approach this and just the fact that we are
13 trying to improve the cost effectiveness of what we're doing.

14 With the items I showed you on the previous slide,
15 we will want to take the highest priority item in those
16 various areas where it appears to be the most potential for
17 savings, or the near term items. Go ahead and try to do
18 Bases of Estimates on those, do the commercial costs, look at
19 Yucca Mountain costs, try to compare them. See where we
20 could save the most money and go ahead, follow up to do some
21 things, to develop some recommendations there.

22 As we go through, we need to continuously tune and
23 finalize our process and our estimates and work very closely
24 to make sure we've got DOE concurrence on the way we're doing
25 it. We have found that if we bring to DOE's attention the
26 costliness of applying some of these orders and the benefits
27 of getting waivers, where those waivers are appropriate, the
28 DOE is being very responsive, they're listening to us. We
29 had some discussions this morning concerning some systems
30 which make it rather clear they're interested in helping us
31 to expedite systems so that we can improve our schedule, or
32 meet our schedule, whatever the case may be, and so that we
33 can reduce the costs associated with this project. So they
34 are definitely on board with us as to what we're doing here.

35 We want to get to the point, really, where we're
36 applying this method of analyzing the cost to everything
37 we're doing. Then get beyond what the M&O is doing and get
38 that applied to all of the Yucca Mountain project work so
39 that we are routinely evaluating requirements, routinely
40 evaluating our methodology, to assure that we've got the
41 appropriate application, the appropriate method applied, and
42 that we are interpreting what our requirements are correctly,
43 and we're doing it in a cost-effective manner.

44 That's all I have.

45 DR. CORDING: Thank you very much. Questions? Tony?

46 MR. IVAN SMITH: This is Tony Ivan Smith, consultant. I
47 have a question relative to G&A on page 17 and the
48 recommendation that performance specification be utilized and

1 that REECo competitively bid the construction of the
2 warehouse, etc. Would REECo, in this situation here,
3 hypothetically charge a G&A, or would they change to act as a
4 general contractor or construction manager? Would that
5 change the cost?

6 MR. SEGREST: I believe that anything which REECo bids
7 out there is still a cost associated with it. I mean, they
8 add some REECo cost to it, whether it be materials, equipment
9 or other labor. I don't know the details of that, and I
10 don't know if Dan--he was here earlier. I don't think REECo
11 is here.

12 MR. IVAN SMITH: I was leading up to the question you
13 have on the conveyor belt and the tunnel machine, because I
14 do believe, for example, on the LM-300, that the G&A would be
15 applied to the purchase of the machine. So the \$13 million
16 tunnel machine might have 49 percent, or some percentage,
17 added to it.

18 MR. SEGREST: I don't believe it's that high, but there
19 is some percentage added to it, you're right, yes.

20 MR. IVAN SMITH: So in a situation of purchasing a
21 conveying system for behind the tunnel machine, G&A would
22 then be applied to that?

23 MR. SEGREST: Yes.

24 MR. IVAN SMITH: Thank you.

25 UNIDENTIFIED SPEAKER: Bill--Bill had a question.

26 DR. CORDING: Yes. Bill Barnard?

27 DR. BARNARD: Bill Barnard, Board staff. I have a
28 question for Bob Matyas. We're seeing project costs that are
29 about three times higher than what commercial costs are. Is
30 this typical for any government operation, or is this
31 situation unique, based on your experience looking at other
32 government operations, like the supercollider?

33 MR. MATYAS: Experience I've had is that a government
34 operation is more costly, but not by the degree that we see
35 here. This is a very large factor over my experience.

36 DR. BARNARD: Thank you.

37 DR. CORDING: Russ McFarland?

38 MR. MCFARLAND: Alden, two questions, if I may. One may
39 not be appropriate for you, but try it anyway. About a year
40 and a half ago, two years ago, the M&O, in the Project 2001
41 report, went through the total program costs, including the
42 800 million estimate for the construction of the ESF, and
43 essentially vented those numbers. How was the M&O able to do
44 that when really, as you're explaining, there was no clear
45 basis for establishing those costs from your perspective?

46 MR. SEGREST: I don't want to say that there was no
47 clear basis for establishing cost. We were doing cost
48 estimate back then. I was back in Vienna and Charlotte

1 instead of out here. The cost estimating was being done, but
2 the approach was not as rigorous in detail and did not look
3 at things the way we're trying to look at them now. There
4 was a cost estimating basis, but what we're trying to do is
5 something different, to assure a more cost-effective basis.

6 MR. MCFARLAND: But there is a multiplier.

7 MR. SEGREEST: Oh, yes.

8 MR. MCFARLAND: That apparently had to be used, a Factor
9 3, Factor 4 multiplier, to come up to the 800 million. How
10 were you able to do that?

11 MR. SEGREEST: I was not involved in that estimate, so I
12 really can't answer that. Paul Pimentel will answer that for
13 you.

14 MR. PIMENTEL: Paul Pimentel with the M&O. I was
15 responsible for Mission 2001 Cost Estimate. Those estimates
16 came from each of the participants, who provided their own
17 estimates. The M&O did not estimate the job. That was a
18 joint effort of all the participants on the project. So the
19 construction cost estimates came from REECO.

20 MR. MCFARLAND: You merely added up the numbers given?

21 MR. PIMENTEL: They actually input them into the system.
22 We used the project cost system, the PAC system, and each
23 participant loaded their own cost and schedule information
24 into the PAC system. And then we integrated the schedules,
25 and we reviewed the cost estimates from a tops down basis.
26 But the effort wasn't that extensive to where we went to nuts
27 and bolts and looked at the estimates in that excruciating
28 detail.

29 MR. MCFARLAND: Is it your thinking that perhaps the
30 same thing was done by the ICE, the Independent Cost
31 Estimate, done by Gilbert Commonwealth? Are you familiar
32 with the--

33 MR. PIMENTEL: Well, I listened to their presentation.
34 I can't, you know, respond to how they performed their
35 estimate, but it was an Independent Cost Estimate. I'm sure
36 they used some kind of factoring basis that they have in
37 their data base.

38 DR. CORDING: Jack Lemley?

39 MR. LEMLEY: Just as a curiosity--and I have to
40 apologize, because I haven't been involved in this for a very
41 long time--why would not your construction contractor buy all
42 these conveyors without all this analysis? Certainly Kiewit
43 has done an enormous amount of that kind of work as a routine
44 to their normal business. Why would the M&O contractor be
45 involved in it at all except to assign it?

46 MR. SEGREEST: In design of the North Ramp, the M&O's
47 responsible for doing the design for that, and then we
48 provide that information to REECO and to Kiewit as the

1 constructor. So we provide them the design specifications,
2 performance spec, if you will, for the conveyor system, which
3 then they go out and purchase.

4 As far as the analysis of what's being done with
5 the conveyor, this project has a lot of requirements that
6 have to be met. We've got some--I'm trying to think what
7 specifically applies to conveyor--but a number of the things
8 we've got to make sure there are requirements on fluids that
9 can be lost, the oils, the lubricants, the greases that can
10 be lost on a conveyor. Because of the type of material,
11 we've got some requirements for dust suppression. Because
12 we're doing the design of the ground support system, we've
13 got various requirements on supporting the conveyor. And
14 then we've got to identify other things, such as the length,
15 the speeds. And then we have to, I guess, do some, at least,
16 sketches or designs, not detailed designs, that show some
17 concepts as far as the conveyor system on the surface, as far
18 as what happens there.

19 There are some unique features. For example, the
20 various materials that come out of the tunnel have got to be
21 separated into different piles in case it ever has to go back
22 in. So we come up with unique features and--

23 MR. LEMLEY: That's not an unknown requirement in their
24 normal work routine, though. I'm just curious about how the
25 interface works between these various organizations. It
26 seems to me that there's an enormous amount of duplication
27 and overhead in the management of the process.

28 MR. SEGREST: I don't think there's any duplication,
29 because if Kiewit was given responsibility for the design and
30 operation, design and construction, at the tunnel, then they
31 would be doing that design. The M&O is responsible for doing
32 all the design of the systems for the tunnel, and then REECo
33 and Kiewit are responsible for constructing it. Realizing
34 that I think Kiewit has the capabilities to do both, but
35 that's not the way the contract's been set up. And I don't
36 believe there's any duplication. Actually, there's a great
37 deal of working together, though, because we interface with
38 REECo and Kiewit at least daily as far as how we're
39 approaching the design and construction of this. There are a
40 lot of things about this facility, as you know, that are
41 unique and require special applications.

42 MR. LEMLEY: I hate to be a wet blanket here, but I was
43 also an advisor to the superconducting supercollider. It was
44 as big a mess as this appears to be, and it was canceled by
45 Congress. They certainly won't cancel this, but I'm
46 surprised at the bureaucracy here.

47 MR. SEGREST: Well, that's exactly the point of a lot of
48 what we're doing, is we're trying to work to smooth through

1 that bureaucracy and make the process work a lot better to
2 actually reduce some of the costs associated with it. And
3 then with cooperation of DOE, we are challenging some of the
4 bureaucratic requirements and processes that have tied our
5 hands or added cost to the project. And as I say, we were in
6 session with DOE this morning trying to do some things so we
7 can get by some of the bureaucratic issues of the system that
8 were about to stop us from saving some money. And they were
9 fully supportive of that.

10 MR. LEMLEY: At the risk of being argumentative, this is
11 1994, and this program has been underway for some time.

12 DR. CORDING: John Cantlon?

13 MR. SEGREST: I won't try to argue with you.

14 DR. CANTLON: Can't top that question. You've sketched
15 ways in which you can get around, or possibly get around,
16 certain of the bureaucratic requirements which add cost to
17 the project. However, the very process of doing that
18 analysis is itself a cause. You have some kind of figure
19 about what--when you mainstream the process, are we looking
20 at? What does your auditing add to the cost of the project,
21 I guess is the way to phrase the question.

22 MR. SEGREST: I would suggest to you that on this
23 warehouse analysis, because we were going through an
24 iterative process, we were asking a lot of questions. We
25 were challenged in the people giving us the estimates. We
26 just were not accepting the numbers that we had. Mr. Foust
27 came back over and over again, not accepting what it was
28 coming up with. That particular one, we haven't tracked the
29 cost, but I'm sure it's added a few thousand dollars at least
30 to the time associated with development of this warehouse.
31 But I think on that facility alone, we will save more than
32 enough to have justified what we went through.

33 The real issue we want to deal with here is
34 getting--you know, we spent a lot of time getting organized,
35 staffing up, bringing the people on board, getting the QA
36 programs in place, getting the processes in place, getting
37 all the training. Now we better take a look and see how
38 effectively we're doing our job and where we're not doing it
39 effectively and efficiently. We need to improve it. And
40 that's what this whole thing is about, is trying to be more
41 effective in what we're doing from a cost standpoint, and
42 we're going to try to continue to make as many strides in
43 that direction. I hope we save a great deal for the project,
44 but we have not estimated that, sir.

45 DR. CORDING: Bob Matyas?

46 MR. MATYAS: Yes. Mr. Segrest, you're the M&O.

47 MR. SEGREST: Yes, sir.

48 MR. MATYAS: And yet you say your requirement is to do

1 design. That's an unusual role, in my experience. You
2 actually do A&E work?

3 MR. SEGREST: Yes, sir.

4 MR. MATYAS: I see.

5 MR. SEGREST: We are responsible for the design of the
6 waste package, the surface facilities and the underground
7 facilities. The M&O was also responsible for the MRS, if
8 there was an MRS.

9 MR. MATYAS: Let me draw a comparison to the
10 supercollider. The supercollider had an M&O, and
11 supercollider had two components. One was to develop the
12 facilities, the underground chambers and the 67 miles of
13 tunnel. The other component had to do with laboratory
14 facilities, development of magnets, superconductivity, and
15 the like. I worked for a very short time for the M&O, which
16 was a scientific organization, and for construction, we did
17 not do any design, perhaps because there was nobody there
18 that had that capability. The decision was to hire an AEM,
19 an Architect Engineer Manager. And all of the underground
20 facilities were designed and contracted for by the AEM. We
21 did not supply any material to them. The record shows that
22 the underground work for that period of time broke records
23 that will be a long time before they're surpassed.

24 The other component was handled by an agent of the
25 M&O, or a partner, and they went about designing and
26 constructing buildings all on their own. Part of the problem
27 that lead to the criticism was they were building buildings
28 without having clients. A very large magnet research
29 building was built, and nobody in the Magnet Division was
30 ever contacted.

31 The building was finished, it was a huge facility,
32 and among other things, there was barely enough delivered
33 power out in that part of the country to keep the emergency
34 lights on, and the building was never used. So, on one hand,
35 they may have done an effective job of designing and getting
36 their money's worth, but they were doing the wrong thing.
37 And I think--as a matter of fact, Secretary O'Leary did say
38 that the only thing that worked was the underground works of
39 the supercollider. It was a matter of getting your money's
40 worth.

41 The partner for the M&O that did all the surface
42 work, for example, they were building a laboratory and
43 treating it as a laboratory long before it would ever be a
44 laboratory. It was a building project first, then it would
45 someday become a laboratory. The whole approach was to build
46 this instant high-energy physics laboratory before there was
47 a facility for a laboratory mission to use.

48 So we had two different things going there. We

1 considered it an absolute capital sin to supply anything to
2 the contractor for the underground work. And we got
3 extremely good prices. It would be a long time before
4 somebody gets those prices.

5 DR. CORDING: Going back to the comments that Jack
6 Lemley was making, is it possible on something like the
7 conveyor--there are certain criteria in terms of, for
8 example, leakage of oil and things like that. Is it
9 possible, as the M&O, to provide an overall criterion, and
10 then let the contractor select the equipment that will fit
11 that criterion, rather than going through the full design and
12 all its detail, but let the contractor then select something
13 that would then fit his operation? Is that a possibility in
14 the conveyor? And then thinking through to other aspects,
15 where you give the contractor the responsibility for his
16 operation and for his efficiency and his safety.

17 MR. SEGREST: We're not designing the conveyor. We're
18 not going out with a detailed conveyor design, we're going
19 out with a performance spec. We prepare the performance
20 spec, the evaluation criteria. There are certain elements of
21 the design, where necessary, that we define in more detail
22 than others, where it's required because of the unique
23 requirements of this project. We're very, very careful about
24 what materials are underground, knowing what's there. We'll
25 have some requirements. I don't think we're all that unique
26 about the belt material being a fire retardant material,
27 about the types of bearings, sealed bearings, things of this
28 nature that we will require that I don't know that are that
29 unusual from what you would normally have in an underground
30 facility.

31 But we will give them a performance spec, probably
32 slightly more detailed than they might normally see, but not
33 a great deal more detailed, such that the constructor can go
34 out and purchase a conveyor--in this case, it could be a new
35 conveyor, it could be a used conveyor with some upgrades--and
36 provide it.

37 DR. CORDING: Will the constructor then provide the
38 equipment? It won't be DOE purchase, is that--

39 MR. SEGREST: Oh, it will be purchased, yes. The
40 constructor, REECo and Kiewit, will purchase the conveyor for
41 this project through their purchasing process, which I'm sure
42 has to be DOE approved, and I guess--

43 DR. CORDING: Why couldn't it be just that that
44 equipment's provided; however the contractor wants to provide
45 it, he provides it? I mean, he could use used equipment,
46 rental, whatever will fit that criterion, he provides, and
47 it's basically a rental to the contract.

48 MR. SEGREST: The constructor is operating under the

1 requirements that they are given from the Nevada Operations
2 Office. I don't know the details of those, and I don't think
3 I have the right construction people here to answer those.
4 In fact, I'm sure I don't. But they have a process which
5 they use which is approved by the Department. I can't give
6 you details on it, I don't know them.

7 MR. LEMLEY: I'm a little unclear as to you say the
8 constructor, REECo, Kiewit; are they in some kind of a
9 venture together?

10 MR. SEGREST: REECo is the test site constructor, and
11 Kiewit, because of their tunneling expertise, is a
12 subcontractor to REECo for the ESF.

13 MR. LEMLEY: Does that mean that REECo has crews in the
14 tunnel along with Kiewit?

15 MR. SEGREST: Yes. REECo will be operating the TBM.

16 MR. LEMLEY: What do you have Kiewit for?

17 MR. SEGREST: Excuse me, Kiewit. I'm sorry, Kiewit will
18 be operating the TBM, not REECo, I'm sorry.

19 MR. LEMLEY: It seems like a confusing kind of an
20 arrangement.

21 DR. CORDING: I think one thing that would be
22 interesting that perhaps even tomorrow we could have some
23 discussion of this procurement policy. And that's something
24 I think we've had some informal discussions in the past on,
25 as to the opportunities for obtaining equipment in such a way
26 that the capital costs may not have to be absorbed by the
27 project. One can do this, for example, for TBM's as well as
28 other equipment.

29 MR. SEGREST: That's one of the things we want to do, is
30 go through as we design, procure, working with the
31 constructors, we want to try to make sure that we are
32 selecting the best strategy to proceed.

33 DR. CORDING: Any other comments?

34 MR. VAWTER: Could I make a comment?

35 DR. CORDING: Yes.

36 MR. VAWTER: I'm Glenn Vawter with the M&O, the Deputy
37 Manager here. I think you're right. Just to answer a couple
38 of things, this is a unique M&O concept that you probably
39 wouldn't find in some of the other DOE facilities, and we'd
40 be happy to take some time to brief you about how that
41 contract was awarded and what it covers. It is unique to the
42 extent that in our work scope there is not only the
43 integration management functions, but there were performer
44 tasks that were put into that contract, and that's why we
45 perform them.

46 The team that we have as the M&O here includes some
47 folks who are obviously very expert in that field, MK and
48 Fluor-Daniel. And so, you know, we have the expertise to do

1 that.

2 I would just suggest, because Bob Nelson isn't
3 here, and I might commit him to this--he's going to be here
4 in the morning--he would be the best source I think you could
5 have to understand the procurement policies at NVOO, that
6 REECo, because they're the contractor and they are subject
7 to--and just because we don't really have much choice in
8 that. I think all of us who come from the commercial sector
9 would see ways that this certainly could be improved. A lot
10 of restrictions that are placed on this project for a number
11 of reasons, and we're doing the best we can to improve that
12 process.

13 DR. CORDING: Okay, thank you.

14 MR. IVAN SMITH: Just--

15 DR. CORDING: Just briefly, yeah. Tony?

16 MR. IVAN SMITH: Tony Ivan Smith with a final comment.

17 Going back to the Sandia days, when I was a member of the
18 expert panel on costs and scheduling, these questions came up
19 there. The tunnel-boring industry is a mature industry.
20 It's a multi billion-dollar industry. It is continued
21 worldwide. And I feel, and have always felt, in this
22 program, to use the words, for example, "commercial practice
23 to cost-effective products," is that we're not emulating
24 commercial practice. And I think it's a matter we'll discuss
25 tomorrow in more detail, but I wish to make that point right
26 now. It's a very mature industry, and if you make a
27 comparison to the work done by the Bureau of Reclamation,
28 which is in tunneling, a Central Utah Project. The nursery
29 for the tunnel-boring industry was the Central Utah Project.
30 It's a whole different thing. We'll discuss that a little
31 bit later. Thank you.

32 DR. CORDING: Yes, Jack Lemley?

33 MR. LEMLEY: One last comment. All this procurement
34 policy and all of the other issues that seem to be difficult
35 from a cost-effectiveness standpoint here all pale when you
36 start looking at it in light of the schedule. And it seems
37 to me that the schedule will probably be the most significant
38 aspect of this program ultimately, because these costs, fixed
39 costs of operation, are astronomical compared to progress.

40 DR. CORDING: Okay, thank you very much, Alden, and I'm
41 pleased to say that we're beginning to look into these
42 things, and thank you for your presentation.

43 I suggest at this point we take a fifteen-minute
44 break and be back at 4:00 for the next session. So we're
45 taking the break a little ahead of what is shown on the
46 schedule.

47 (Whereupon, a break was taken.)

48 DR. CORDING: Okay, as requested, we do make sure we

1 speak into the mikes when we're answering questions or asking
2 questions.

3 Our next presenter is Dick Bullock, with Raytheon
4 Services. He's going to describe a "Preliminary Study to
5 Improve the Entry into the Calico Hills Formation for Site
6 Characterization." Now, this is a study that was done, and
7 one which I think gives some interesting options for getting
8 down into the Calico Hills.

9 MR. BULLOCK: Thank you, Ed. Can you hear me, is this
10 working?

11 (No audible response.)

12 MR. BULLOCK: This study was completed last fall, in
13 1993. It began when Dr. Bill Simecka requested me to do this
14 study to see if there weren't some different ways, and
15 hopefully better ways, to get to the Calico Hills. What's in
16 the view graphs, and I must apologize, I didn't learn of this
17 presentation until last week, and I was in Denver all week.
18 I called back to the office and had them put the slides
19 together I used last December. So I'll try to make
20 corrections where corrections are due if things have changed
21 in the meantime.

22 The purpose of the study was to take an independent
23 look at a simpler method and more cost effective to get to
24 the Calico Hills. It was a preliminary study--I'd rather
25 call it conceptual study--and therefore nothing was really
26 optimized. There's no doubt in my mind that as the M&O goes
27 through the design, and if they do choose an option such as
28 this, that they'll find many ways to improve over what I've
29 said is a conceptual study.

30 I did use "drill and blast" for the ramp, primarily
31 because I didn't have good cost estimating methods and
32 knowledge myself of tunnel-boring a ramp. So I used drill
33 and blast for the development of the ramp, and a
34 "roadheader," which the DOE owns, an AM-75 Roadheader, for
35 the haulage away on the Calico Hills. I really feel that a
36 TBM and conveyor system would prove even more cost effective.

37 Why enhance the baseline? Well, one of the things
38 that could very well be virtually improved is the time
39 factor. The present schedule, which, again, back in October,
40 was that they were going to start the Calico Hills South Ramp
41 7/98. I think now they've decided--it's not a baseline, but
42 the planning is to start it in '97 from the north side. The
43 Main Drift, then, was 11/98. The cross cuts were completed
44 in 2001. Testing was to start in the year 2000, and
45 completed, probably, in 2008, because there's about eight
46 years of testing. These dates have been moved up somewhat,
47 at least maybe a year or two, so I'm not real sure in the
48 latest planning that the M&O has done, this has been

1 accelerated somewhat.

2 Another reason to enhance the present baseline was
3 I think it would be ideal to have no connection to the
4 Potential Repository. Option 30 was selected by the
5 Management Committee of DOE for the reason that there was
6 2000 feet of horizontal distance and 200 feet of vertical
7 distance from the take-offs, where you drove the ramps down
8 to the Calico Hills. What is baselined doesn't have near
9 that distance, and the new enhanced Calico entries are about
10 the same level as the repository. There never can be a
11 direct pathway of man-made opening between the two horizons
12 if the entry to the Calico Hills is completely separate.
13 You're not coming from or through the ESF.

14 There's also hope to try to reduce the amount of
15 footage that's necessary on the Calico Hills. The baselined
16 configuration is about 31,000 feet and the enhanced
17 configuration is about 32,000 feet. What I have laid out in
18 the final analysis is, though it does not necessarily hit all
19 the targets hit in the other two options, anyway, it's about
20 21,000 feet.

21 Just as a background to doing the study, I went
22 back and reviewed the Calico Hills Risk Benefit Analysis,
23 because I thought some of the things in there--this is what
24 came out of the study that was detailed to the Calico Hills.

25 That information then was fed to the ESF Alternatives Study.

26 They eliminated all options which did not connect
27 with the ESF. So they took a different approach than what
28 I'm taking. And they eliminated ramps, which, of course, is
29 different.

30 For the benefit of those who have not been sitting
31 at these tables as well as some of the rest of us have, this
32 is sort of what's baselined as far as the ESF. There would
33 be a North Ramp, the main access--and now this was the
34 baselined case back in October, and I'll show you an enhanced
35 version of this in just a moment--and it came out to the
36 South Option. And what was also baselined was the drive down
37 the North to the Calico Hills, across the block, and back up
38 to the South Ramp in the Calico Hills.

39 Let me jump down here. This is what the enhanced
40 version looks like. Now, the main Topopah Springs Drift
41 parallels the Ghost Dance Fault. There still is a take-off
42 to go down to the Calico Hills, across the block, and back up
43 to the South extension.

44 Does that explain it, Russ?

45 (No audible response.)

46 MR. BULLOCK: And I'll get to what I'm proposing in just
47 a moment. You know, that's the one you just showed me, the
48 enhanced version.

1 The targets for the Calico Hills as defined by the
2 Risk Benefits Study were the lateral facies changes in that
3 area from the ziolite to the vitric, which occurs someplace
4 towards the middle of the block. The Ghost Dance Fault is
5 certainly a target. The Solitario Canyon Fault is one of the
6 targets. Drill Hole Wash is identified, and the bounding
7 structures on the east and southeast. This is part of the
8 Imbricate Fault and the echelon faulting.

9 Their recommendation, just numbers, was 2 and 5,
10 which I have an example. This was one of the Risk Benefit
11 group's recommendations, was a shaft to be sunk here, drifted
12 to Solitario Canyon, drift to Ghost Dance in two places, and
13 hit the Imbricate and the Drill Hole Wash. The Option 5 was
14 the same thing, except the shaft was up here.

15 That information was turned over to the Sandia, who
16 were the sponsors and leaders of the ESFAS, Alternate Study.
17 They, in turn, developed 17 options, at first, for
18 characterizing the Topopah Springs. And when they accepted
19 the recommendations of the Risk Benefit Analysis group, they
20 doubled the options from 17 to 34, and the increase in
21 development from 12,000 feet from the Risk Benefit Analysis
22 up to 18,000 feet in the Alternative Study.

23 Option 30--well, there was a strong influence, if
24 some of you were around and remember, for early testing in
25 the Calico Hills at that time. And that was a very strong
26 influence. Option 30 was selected because both of the
27 isolated take-offs to the Calico Hills, and it also was the
28 option that had the earliest testing in the Calico Hills. So
29 those things must have been important at the time.

30 There was Option 30, and you can see the take-offs
31 were quite a ways back up the ramp for Option 30 as it was
32 pictured back in that time, even though it was an artist's
33 conception, and that's what was given to the Management
34 Committee to make the decision, and that's what they were
35 looking at.

36 Why was a separate entry never considered before?
37 Have gone along many years, and one has not been seriously
38 proposed before. All the concepts to characterize Calico
39 Hills have considered additional openings coming out of or
40 through the potential repository level. The reason was they
41 were trying to follow 10 CFR 16, which states: "The number
42 of exploratory boreholes and shafts must be limited to the
43 extent practical, consistent with obtaining the information
44 needed for site characterization."

45 However, the way it's been applied really has
46 nothing to do with the practicality of the system. A
47 development system, which in no way is connected to the
48 opening to the potential repository, might be much more

1 practical and acceptable than one which creates two man-made
2 openings connecting to the repository and the Calico Hills.

3 Furthermore, you can't look at part (2) of that
4 section of 10 CFR 60 without looking at part (1), which says:
5 "Investigations to obtain the required information shall be
6 conducted in a manner as to limit adverse effects on the
7 long-term performance of the geologic repository."

8 Well, certainly, disconnecting the man-made opening
9 between the repository and the Calico Hills in no way should
10 have an adverse effect on performance assessment, and I think
11 it probably should be even better.

12 So I was given the task to try to find a separate
13 way to get to the Calico Hills. I apologize for the busyness
14 of this view graph, but what it is, is several things
15 superimposed. It started out with a Scott & Bonk fracture
16 mapping. And I don't like to lay out underground openings
17 unless I do it on something that's got faults and fractures
18 mapped on it. Basically, you can see on your handout, or
19 look up here, this is the main block of the ESF potential
20 repository, and the smaller block, the downcast block right
21 over here.

22 I decided to look at ways to get to the north end
23 of it, to get to the west end of it, and west side, and to
24 the south end of the potential repository block. I looked at
25 three sites to the north, one in the west, going to this
26 western edge of the block, and five sites to get to the
27 south.

28 Now, you don't have the next two view graphs, I
29 apologize. Just bear with me. This gives the distance of
30 the ramps it would take to get between those points that I
31 showed you, or you have on your map there, and to the points
32 in the block. And the ramp grades that would be required
33 with these distances to reach those elevations on the block.

34 Also indicated are the number of major faults--not faults,
35 but fractures, at least where there are map faults, I guess,
36 that one would be crossing to get to those points.

37 So, you see, some of them have quite a few major
38 faults, including those that come from the west, crossing the
39 Solitario Canyon Fault zone. I'm not a geologist, but I
40 consider looking at this canyon as being a fault zone, and
41 I'm not sure exactly how wide it is or what one might get
42 into.

43 Also, there were some very good areas down in the
44 south, where it looks like very few faults will have to be
45 crossed. And one in the south where I think one's going to
46 encounter considerable echelon faulting.

47 In trying to make that one-man decision as to what
48 probably would be the best place to come in, the three sites

1 in the north, you're coming from a geographically high area
2 to the stratigraphic low end of the Calico Hills. That's why
3 the ramps in that area were very long and very steep.
4 They're not impossible to get to, but it's difficult, and it
5 would be costly and cost time and money to get to the north
6 end of the block from the surface.

7 The three areas that you could have gotten to the
8 west point, west side, all of which cross the Solitario
9 Canyon Fault area. And I believe this could be very costly
10 to do. Not impossible, and maybe the tunnel-boring experts
11 in the group might argue with me that there would be no
12 problem, we could sail right through it.

13 Site 9, which has a very favorable grade and
14 distance, is in the area of this, where it looks like echelon
15 faulting, and I think it's a less than desirable place to
16 locate a ramp.

17 Sites 7 and 8 have acceptable grades and distances,
18 and a very minimum of faulting indicated. There's a good
19 quarter that you can go down through and hit very little
20 faulting. I picked Site 7 as being the optimal case in
21 which--bear in mind, I was thinking of drilling and blasting
22 the ramp using a roadheader for the Calico Hills excavation.

23 And if one were looking at a tunnel-boring machine, you
24 might be willing to go a little bit farther, get a lower
25 grade, and Site No. 8 would be the ideal condition.

26 What the ramp would look like or, again, laid out
27 on a--and bear in mind, these view graphs were made for a
28 much smaller group than this. I looked at the topography,
29 laid out a pad between the stream flows or the drainage flows
30 on this side of the mountain located, came across two
31 probably fairly minor faults, and then there's a quarter down
32 through here, until you reach the block up here, where there
33 are no faults indicated on the Scott & Bonk. Now, that
34 doesn't mean that they're not there. There's just no surface
35 indication of them being there.

36 DR. CORDING: How does that fit with that pork chop
37 shape of the repository?

38 MR. BULLOCK: Let me go to the next slide and you'll--

39 DR. CORDING: Okay.

40 MR. BULLOCK: --see where this comes into the pork chop
41 shape.

42 DR. CORDING: Oh, okay.

43 MR. BULLOCK: That just gets you down to the edge of the
44 pork chop. I don't know whether you can see that, but this
45 is ramp coming down this corridor, where there's very little
46 faulting indicated, and here's the edge of the block, at the
47 Calico Hills level. And then you would come across, drive to
48 the Solitario Canyon, drive to the Ghost Dance and, if you

1 wanted, drive to the Ghost Dance here, so you can hit it in
2 two places.

3 Now, what's in the cost estimate, that we'll get to
4 in just a moment, is a short drive down the ramp. This is
5 7.6 percent, about 7,400 feet. And then drive across the
6 block 4.4 percent. If you went down to the Ghost Dance at
7 this point, that's about 3,000 feet, at a -11 percent. And
8 go up to the Solitario Canyon at this point, that's 14
9 percent, and the Ghost Dance here would be a -10 percent,
10 about.

11 Does that answer your question, Ed?

12 DR. CORDING: Yeah, thank you.

13 MR. BULLOCK: What about the question of single opening?

14 Will a single opening be allowed? The project has always
15 tried to pay attention to the MSHA requirements. The MSHA
16 requirement says: "Every mine shall have two or more
17 separate and properly maintained escapeways to the surface
18 from the lowest level ... A method of refuge will be
19 provided, while a second opening to the surface is being
20 provided. A second escapeway is recommended, but not
21 required, during the exploration or development of an ore
22 body."

23 Well, this is not an ore body, and this isn't a
24 mine, but one might say that the site characterization of the
25 Calico Hills might very well be likened to the exploration of
26 an ore body. And many times, many, many times, we've gone
27 down an exploration shaft and driven it out to the ore body
28 and put in dozens of diamond drills and drilled and drilled
29 and drilled, and finally decided it wasn't economical to
30 proceed and abandoned the whole project. And this has
31 happened all over the country. This would be no different
32 here. You go down, you drill it out, or do whatever you have
33 to do, map it, run your tests, stay there as long as you have
34 to, and then get out and abandon it.

35 What does California Administrative Code require?
36 By their definition, this would be classified as a tunnel.
37 And as a matter of fact, there's no mention of a second
38 opening in the tunnel safety codes. And what you're really
39 talking about when you're talking about a second opening is
40 how to get people out of there in case there was an accident.
41 That's the main thing.

42 By comparison to what was baselined last October,
43 there was 24,600 feet before you would break out. Let me get
44 that back up here. This isn't a very good diagram to show
45 it, but if you started down here and came around, by the time
46 you got here, you would have 24,600 feet before you got the
47 person out. And the same is true of the enhanced version.
48 If you were driving from the north end around and coming out

1 here, you'd have to get the person all the way back out to
2 the surface. It's a long way.

3 And what I'm proposing, it's about half of this,
4 17,000 feet. It's still a long way from the very end, but
5 it's a lot shorter than the other proposals to bring them
6 from here out. And that's what you're really looking for, is
7 the true safety of the thing.

8 The advantages to the recommended development. It
9 allows the Calico Hills to be developed at any time. You're
10 not waiting. As Jean pointed out earlier today, in the first
11 place the decision hasn't been made whether or not to develop
12 the Calico Hills, let alone how to do it. But that decision
13 will be made after some logical reasons, say, the
14 intersection of the Ghost Dance Fault, which may trigger it.

15 But at any point, when a decision is made to develop it, it
16 can be developed. There's no waiting for another tunnel-
17 boring machine to go by any opening or anything.

18 There's no connection with the ESF, which has the
19 potential for becoming a repository. The separate entry
20 should compare better from a performance assessment point of
21 view.

22 And should an accident or emergency occur, it would
23 be a shorter distance to travel to get the people out of
24 there.

25 And the cost and the amount of development is far
26 less than the recommended separate cases that I've discussed
27 which were baselined.

28 And speaking of the cost, this is what was in the
29 baseline as of October. I do not know what's in there now.
30 This is the footage which was in the baseline case. There
31 was 30,992 feet that characterized the Calico Hills, or the
32 ramps. It was going to cost \$103, almost \$104 million. That
33 does include two 18-foot tunnel-boring machines with trailing
34 gear, so I want to be sure and point that out, that that is
35 in that number.

36 I did a cost estimate on what I had laid out
37 earlier, and I didn't do the surface estimates. I had
38 someone with more expertise at that, who normally does them,
39 from Raytheon. And the cost of what I'm proposing, with a
40 42.62 percent contingency, was out \$32 million. I presented
41 this last October the first time. No one has come back and
42 said, "You're way off," so I assume that someone's probably
43 seconded it.

44 My recommendation was that Site 7 be used as the
45 Portal Site. One point I forgot to mention, on the south end
46 of the block, the beds tend to flatten out. The location of
47 the portal, of Site 7, is that it's nearly the same level as
48 the repository. With the beds flattening out, and you're

1 going beneath them, there's no way you could do anything to
2 that ramp going down there that could ever effect the
3 repository. No matter if you lost fluids, if you lost oil,
4 whatever you lost in that ramp, it's not going to effect, in
5 my opinion, the repository, because it's a good distance
6 away. It is on the block, so from a performance assessment
7 point of view, if it still has to be QA, it has to be QA.

8 I feel that it needs to be considered for
9 classification as: not important to waste isolation, not
10 important to safety, not important to test interference. It
11 should at least be considered to see whether these things are
12 true or not.

13 And I think one of the best things going for it is
14 that the construction of the ramp could be completely
15 separated from the activities. It could be done as a
16 separate, even a hard money contract, to go over and do that.

17 I see no reason why, over there, you're not on the test
18 sites, you're on Bureau of Rec land, you have a separate
19 entrance. You're not even coming in through the security
20 gates. The facilities over there will be more temporary than
21 they will for the ESF. I think the hard money contractor
22 could furnish all the utilities you need over there. There
23 is a water well over there that could furnish water if you
24 put a pump and a generator on it.

25 So that's my presentation. If you have any
26 questions, I'd be glad to try to answer them.

27 DR. CORDING: Thank you, Dick. I know, as you said,
28 it's a preliminary estimate, but I think it's encouraging to
29 see these sorts of numbers. Looking at this as an option
30 seems to be one that certainly is worthwhile, and I
31 appreciate you presenting it to us. We have time for
32 questions and comments. Yes?

33 MR. NATARAJA: Mysore Nataraja from NRC. This is a
34 comment related to the last statement you made about
35 recommending this not to be considered as important to safety
36 or isolation or test interference. Not important to safety,
37 I can buy that. But not important to waste isolation, I'm
38 not quite sure how you can consider it not important to waste
39 isolation, number one. Number two, if it is a part of site
40 characterization, it is going to be important. So,
41 regardless of how you treat it, it is going to come under
42 certain requirements of quality assurance.

43 MR. BULLOCK: Thank you. What I'm saying is, it should
44 be considered, it should be looked at, it should go through
45 the procedure, and let the performance people assess it. I'm
46 not saying it shouldn't be assumed that it's always safe, but
47 study it and look at it and see if it should be important to
48 waste isolation, site characterization and test interference.

1 And I'm only talking about the ramp. I'm not talking about
2 the level under the block, I'm talking about the ramp getting
3 to the block. That portion should be considered for this.
4 And I realize that's just my opinion, and I'm not a
5 performance assessment person.

6 DR. CORDING: Other comments? I notice there have been
7 people here from the construction group, with Kiewit, and
8 you're presently looking at the possibility of doing it from
9 within the facility. Do you have any comments on that? I'm
10 not sure they're here

11 MR. BULLOCK: I think they all left.

12 DR. CORDING: They didn't want to hear it. Okay. I
13 think one of the issues has been this number of accesses, and
14 certainly, as I understand, OSHA, it doesn't refer to
15 multiple access, and you're indicating some real savings
16 because you're not having to come out with two ramps or two
17 connections to the surface. And I'm also wondering to what
18 extent that could apply to the entire exploratory ESF
19 facility in the situation where one is trying to get
20 information down at the repository level before the machine,
21 for example, completes a loop. So there's an opportunity
22 there also, I would think.

23 MR. BULLOCK: It certainly needs to be looked at again,
24 reassessed.

25 DR. CORDING: Other comments? Russ McFarland?

26 MR. MCFARLAND: Dick, I'm trying to recall, from the
27 last cost estimate, including all costs allocated to Calico
28 Hills, it was about 130 million. You had 103 plus.

29 MR. BULLOCK: Yeah, this--

30 MR. MCFARLAND: And you would, by coming separate, come
31 down to about 31 million, about \$100 million difference.

32 MR. BULLOCK: Right. From the 103, you'd have to--to be
33 honest and fair, I said in my report it's closer to 50
34 million, because there are two tunnel-boring machines and
35 trailing gear--

36 MR. MCFARLAND: Um-hum.

37 MR. BULLOCK: --that really should not be in there.
38 It's apples and oranges if it is. So you're bringing, say,
39 20 to 25 million out of there, and then subtract my figure
40 from their figure. It's closer to 50 than it is 100.

41 MR. MCFARLAND: Thank you.

42 DR. CORDING: Can you tell, Dick, at present, is this
43 study going to be looked at further in terms of an option, or
44 do you know what the status would be?

45 MR. BULLOCK: I don't. Dan has been working on these
46 things.

47 MR. MCKENZIE: There is going to be a system study.
48 It's an early FY 95 start that's going to look at this. This

1 is one of the options, obviously, and the baselined Calico
2 Hills layout will get another, and maybe some variation of
3 the baselined Calico Hills would be another yet, and those
4 three, at least those three, options would be looked at.
5 Bill Simecka will touch on that tomorrow.

6 DR. CORDING: Good.

7 MR. MCKENZIE: Just like one chart that's just going to
8 say that we're going to do that.

9 DR. CORDING: The other one might involve only a single
10 access, or a single ramp down from the repository level?

11 MR. MCKENZIE: Right.

12 DR. CORDING: Would that be a possibility?

13 MR. MCKENZIE: Right, that would be one of the logical
14 third evaluations.

15 DR. CORDING: Yeah. Okay, thank you very much,
16 appreciate that.

17 Well, we've had our break, so we can't do that, but
18 we are ready for a Round-table discussion of people within
19 the audience as well as the Board and the presenters. And
20 I'd just like to at this point open it up to comments and
21 discussion on some of the things that we've been getting into
22 today. I think the issues that we've been discussing today
23 certainly have to do with how we tie together the Proposed
24 Program Approach with the various requirements for testing
25 and evaluation, the science that needs to go on to accomplish
26 that. And that's one issue that Jean Younker was addressing.

27 The very interesting approaches that are being
28 looked at now to try to cut costs on the project is another,
29 and as to how the program can be organized to do that. That
30 would be the second.

31 And then some of the other times here, again, going
32 to the Calico Hills, I think that brings us in again to this
33 issue of what are some more effective ways of carrying out
34 the underground construction, and how can some of these high
35 costs and long schedules and interferences that can take
36 place with multiple operations, how can those be minimized?

37 So I think those are the items that we have, and
38 I'd like to at this point open up to people on the floor,
39 people in the audience, as well as people here at the table,
40 and perhaps going to the first item, related to the testing
41 that's being carried out and how it can be carried out within
42 this Proposed Program Approach. Any comments from the Board
43 on that issue?

44 (No response.)

45 DR. CORDING: I guess one of the items, I think, is, in
46 looking in your own areas, does it look as if we have the
47 possibility to obtain the information that's needed if, for
48 example, there was access underground within the next two

1 years, that there are more borings going on? Are we going to
2 be able to get, for example, the geochemical information
3 that's required to understand the site? Is that something
4 that seems to be feasible to fit into the program, or what
5 are your concerns with respect to that? This is the kind of
6 a question I'm throwing at Don Langmuir, at this point. I'm
7 not asking for your conclusion as much as some thoughts you
8 might have in that area.

9 DR. LANGMUIR: Langmuir, Board. I think the thermal
10 loading issue is the big one, because geochemistry depends so
11 much on what the decision is in terms of a choice of thermal
12 loading. So there's the cart and a horse business here. And
13 the thermal tests, if we could get the thermal tests going
14 sooner rather than later, that's certainly a plus. And to
15 the extent that construction could provide an earlier start
16 of those tests, if there's any way to get them sooner,
17 because that then impacts the fluid transport flow,
18 condensation, perched water gains, the information needed for
19 those models and for validating those models. The
20 geochemistry doesn't go anywhere without water, without
21 fluids, and so the thermal effects, which are so key to
22 what's going to happen to those fluids have to be understood.

23 So if you can get us underground sooner to do those heater
24 tests by changes in the engineering, I think that's a real
25 plus.

26 DR. CORDING: Bill Simecka, I was turning to you as you
27 walked up, and I appreciate any comments you might have on
28 this and on schedule.

29 MR. SIMECKA: Well, we've talked all over my
30 presentation today.

31 DR. CORDING: And we apologize.

32 MR. SIMECKA: So I feel compelled to come up and finish
33 it off. Don, we are going to show an approach where we can
34 get the heater tests started earlier than we had talked. But
35 you've got to remember that to follow your edict, or your
36 desire, to complete the loop before you do anything else,
37 that means that the heater tests are going to come after the
38 loop. And I don't think that's the best way to go. I think
39 you need to start the heater test before you complete the
40 loop. And if we get adequate funds, we can do that. I'll
41 show you a technique tomorrow that I think we can do it. So
42 it's not an either or. You can have competing things, and
43 it's usually competing on money.

44 DR. CORDING: You know, I think that comment on
45 competing, it has to do with interferences. It makes the
46 operation inefficient to the point that it's costing more
47 than it should, and it's delaying the needed testing. And I
48 think that the principle is more important than saying you

1 absolutely have to complete the loop. One has to look at
2 this point now. There are some options that I think go
3 beyond what we were even discussing last year, or a year and
4 a half ago. For example, the opportunity to have two tracks
5 operating in the facility. And if one is going in and
6 saying, "We're going to be constructing alcoves and cutting
7 off all communication through that area where the alcove is
8 and not being able to advance the operation," then the more
9 alcoves you put in, it just continues to delay a lot of
10 progress.

11 MR. SIMECKA: I'll show you--

12 DR. CORDING: But there may be some other ways of
13 handling this--

14 MR. SIMECKA: I'll show you that--

15 DR. CORDING: --with modern machines.

16 MR. SIMECKA: --it is significant. Although, if you're
17 only going a short distance, it takes a lot of time to get a
18 machine unless you can get one that is designed to come right
19 off the centerline. We're looking at all of those.

20 We also are looking at drill and blast. But the
21 drill and blast to get you off the centerline far enough to
22 where you can resume operations is very critical. And there
23 might be a way to do that in a very quick way so that over a
24 weekend, possibly, you can get far enough away from the
25 centerline with blast curtains and so forth to be able to
26 continue in.

27 We're looking at all of those, because what you're
28 trying to do is optimize in totality the progress. The one
29 thing we want to do is get the Ghost Dance. Besides the
30 heater test, we want to get the Ghost Dance as soon as
31 possible, because that's a key decision point on whether to
32 go to Calico or not. And if we find early that we have to go
33 to Calico using Dick Bullock's approach, we can go on down
34 there and it won't interfere with anything that's going on in
35 the upper level. So these things are trade-offs as we go.

36 DR. CORDING: I would agree with those approaches, and I
37 think that all the expertise in the organization that can be
38 brought to bear on it is certainly going to be helpful to try
39 to integrate that excavation process with the science.

40 MR. SIMECKA: Well, you see, we've got enough power for
41 two headings without question. And we plan to buy an 18-
42 footer, or a 16- to 18-footer, as soon as we get money for it
43 in '95, so that when we get down and get the stub done with
44 the big machine, right after that disappears around the
45 corner, we can put the 18-footer up against the face and go
46 on into the north extension. As soon as the north extension
47 passes the area where we want to put in heater drifts--and by
48 the way, we are thinking of moving MTL over to the north

1 extension and do those tests over there. Much simpler, much
2 less cost. You don't have to dive down 150 feet, etc. So
3 we're trying to get all of those things done. And the key
4 items are not only finish the loop, but we've got to get the
5 Ghost Dance, start the heater test, and decide to go to
6 Calico.

7 DR. CORDING: Okay.

8 MR. MATYAS: Bill? Bob Matyas.

9 MR. SIMECKA: Yes, sir?

10 MR. MATYAS: Question. You said to buy an 18-foot
11 machine. Why would you have to buy one?

12 MR. SIMECKA: No, we don't have to buy it. We have not
13 limited the procurement people. They are to look at lease or
14 buy, new or used.

15 MR. MATYAS: Get a contractor, and he'll bring his own
16 machine.

17 MR. SIMECKA: Get a contractor in there; we could have
18 Kiewit go get the machine. These are all options.

19 MR. MATYAS: Okay.

20 MR. SIMECKA: And as you said earlier, or somebody said,
21 we want to move this thing as fast as possible. Not because
22 we want to push the science out or anything, we want to give
23 them adequate access, because that's the only reason we're
24 doing it. But for every day we delay the project, there's
25 more money. To save a few bucks on construction, and waste
26 money because the project is extending for just another day
27 or two days, is kind of foolish.

28 So I think Jack Lemley pointed that out. So it's a
29 combination. If you look at this elephant one way, you see
30 one thing. But we're trying to look at the whole thing and
31 move the whole project as fast as we can within the funds
32 we've got. So you'll find that our thinking is always
33 considering how can we do that? And I think we've made a lot
34 of progress. The Scenario A has driven us to look at this.
35 So what I present tomorrow, I think, is a--I like it. You
36 may not like it, but I like it, and I can only go with what I
37 feel.

38 DR. CORDING: I'm interested in hearing it.

39 The other issue is just how much you have in the
40 issue each year, your cash.

41 MR. SIMECKA: Absolutely.

42 DR. CORDING: It seems to me you have enough money,
43 perhaps, to buy part of the system, but not to really fully
44 operate it. I know that's a concurrent concern, and I think
45 it's one of the issues that's extremely important here. That
46 also is delaying things, but it's because of the cash that
47 you have available.

48 MR. SIMECKA: Um-hum. Now, I should say, before I sit

1 down, that Dick Bullock's approach allows us to go hard money
2 contract, I believe. That's a natural for doing hard money
3 contract, because we can just go do it, and get down there,
4 because we're going to be driving to the point right below
5 the Ghost Dance where this fast path is, and I think that is
6 an opportunity. So we are considering that very strongly.

7 DR. CORDING: And I think even with a hard money
8 contract, it still doesn't mean that you--in other words, a
9 positive way of saying it is that you still can have
10 interfaces set up within the contract that allow you to do
11 certain things that you might--

12 MR. SIMECKA: Of course.

13 DR. CORDING: --need to do in a testing.

14 MR. SIMECKA: Of course.

15 DR. CORDING: Say, "We're going to delay such and such,
16 what's the delay time?"

17 MR. SIMECKA: That's right.

18 DR. CORDING: You know, "What's the delay cost?"

19 MR. SIMECKA: Yeah.

20 DR. CORDING: And put that in the contract, and you--

21 MR. SIMECKA: Sort of the unit price.

22 DR. CORDING: --can handle that, and you know what the
23 value of it is at that point.

24 MR. SIMECKA: That's right, you can unit price some
25 things. We can do that. And I think getting this thing
26 started is the main thing. Once we get it started, we can
27 start doing these variations. Because we'll have time to do
28 that.

29 Anyway, after my presentation tomorrow, I hope
30 you'll be even happier.

31 DR. CORDING: Thank you, Bill. Please.

32 MR. OLIVER: Ron Oliver with the ESF Test Coordination
33 Office for the DOE. One thing I heard this morning--or this
34 afternoon--from Jean, and to supplement what Bill just said,
35 is that the ESF testing program also carries with it, as the
36 TBM moves ahead, both geologic mapping and consolidated
37 sampling.

38 Both of those programs, each foot of advance of the
39 TBM, we gather the capability of collecting samples for
40 thermomechanical tests, hydrochemistry tests, all of those
41 types of tests that we plan to do in the ESF. That geologic
42 mapping data will help us sight the particular alcove
43 locations. So our testing program is working very much as
44 construction proceeds, it's carrying down in the ESF whether
45 we continue the loop around or we go over to the North Ramp
46 extension to explore a thermomechanical area. We'll be
47 gathering a basis to make those decisions based on our
48 discoveries and observations as we excavate the facility.

1 Thank you.

2 DR. CORDING: Are you looking also at ways you can--for
3 example, you encounter a fault, and you say, "Now, we want to
4 go to that fault with a separate tunnel or drillholes," and
5 how are you going to test across those features? Just how
6 are you looking at that, or are you involved in that part of
7 it?

8 MR. OLIVER: Absolutely. The characterization of major
9 faults is another test that we're carrying around, and some
10 of the alcoves that we're building that Jean mentioned are in
11 direct support of that. So that portion of the program, when
12 we see a fault, and it's determined that it's a fault,
13 because we're against criteria that the USGS will basically
14 bring to the table, and then there will be a test put in.
15 But it will be based on discovery.

16 I heard some discussion about, I think, the
17 Sundance Fault this afternoon, and that, again, until we can
18 get to the underground and see it, see how it crosses the
19 ESF, and physically get some properties of it from the
20 exposure, I think that's how we'll determine actually how to
21 put those programs in. But they're absolutely planned, and
22 those are some of the alcoves that--

23 DR. CORDING: Now, for example, you've got four alcoves.
24 Would that be where you would be sighting some of those
25 alcoves, and do they need to be done before the tunnel-boring
26 machine is finished? What is the sequencing of that? Do you
27 have to get in and do it right away?

28 MR. OLIVER: It's a mixture--

29 DR. CORDING: For example, for drilling.

30 MR. OLIVER: Okay, it's a mixture. We're working with
31 the design team, the reality of procurements, and the DOE to
32 put those alcoves in as soon as possible. With the trailing
33 gear and some of the stuff that Bill will probably talk about
34 with various scenarios, I think that's best discussed
35 tomorrow. But we're very much working on that. Drilling can
36 be done, the TBM design is facilitated drilling off the
37 mapping gantry. We have equipment that if we find anomalies,
38 we can certainly test them. And I think that is in the
39 program right now.

40 DR. CORDING: One of the items is the drilling, and the
41 progress in drilling is perhaps on the same order as the
42 progress and advance of the tunnel-boring machine. It seems
43 to me, one of the things we were discussing with the 25-foot
44 tunnel was the ability to use some sort of a gantry that you
45 could continue to operate the tunnel-boring machine, but have
46 it set up for the drills. And I think possibly even the
47 double track gives you that option, at least at some point
48 behind the trailing gear, to be able to do drilling

1 separately and continue operating the machine. So those are
2 some of the interfaces, I would think, that maybe would keep
3 one from having to stop the entire operation to complete
4 drilling. And I guess I'm not fully clear as to when you
5 have to do the drilling, at one point one has to do that, and
6 how much of that is going to stop the progress and how much
7 of it can be done concurrently or later.

8 That was kind of a long comment and question. I
9 don't know whether you have any response.

10 MR. OLIVER: I think to do something--because it's
11 invaluable to the testing community each foot of advance that
12 we make. We're trying to understand Yucca Mountain. And
13 actually, to stop the advance for any long period of time
14 without actually getting to see the geological conditions in
15 the underground, we're not advocating that as we work with
16 the design team. We certainly have the capability, design,
17 and the equipment so we can do that, but there's a cost. And
18 those trade-offs will be made once we are underground and can
19 assess with the researchers, because they're the ones that
20 are doing that assessment on the importance. We take that to
21 the DOE's table, and decisions will be made.

22 DR. CORDING: Okay. Tony Ivan Smith?

23 MR. IVAN SMITH: A quick question for Ron. Do you
24 expect any delay? Is your testing able to keep up with the
25 normal performance of the tunnel machine?

26 MR. OLIVER: We don't expect any delay with the testing
27 that we have planned. Consolidated sampling and geologic
28 mapping will both be conducted on a gantry that is part of
29 the tunnel-boring machine equipment. So there should be no
30 delay.

31 MR. IVAN SMITH: So if the tunnel machine went to a
32 normal 24-hour day or extended six-day week, the testing
33 program would be able to keep up with it?

34 MR. OLIVER: We believe there's not a problem there. We
35 work very closely with the design team to assure that that's
36 the case.

37 MR. IVAN SMITH: Thank you.

38 DR. CORDING: Leon Reiter?

39 DR. REITER: I have a question for Jean. Jean, I want
40 to apologize. I usually try to warn you about some of these
41 questions beforehand. You mentioned that one of the whole
42 purposes of the PPA, one of the big things, is concentration
43 on site suitability, and I think Dan Dreyfus talked about the
44 idea of focusing in on important studies. Not everything in
45 the SCP is important.

46 Certainly, in suitability, one of the things that
47 we hope will be important, that if we had to walk away from
48 the site, we want to walk away as soon as possible. And you

1 said you met with a group of people talking about these
2 things. Could you, perhaps, enlighten us on what kind of
3 things you would find that would raise a severe question in
4 your mind as challenging the site? And within that, do you
5 view any of the thermal characteristics of the site that
6 could render the site unsuitable?

7 DR. BARNARD: I think she needed a warning, Leon.

8 UNIDENTIFIED SPEAKER: Did you warn her?

9 DR. REITER: No, I didn't. I apologize for not warning
10 you.

11 DR. YOUNKER: Yeah. Let me make it clear, I had no
12 warning that was coming this time from Leon.

13 Let me see. The first part of it was, what kinds
14 of things would we look for? You know, what kinds of things
15 would give us the biggest concern from a suitability
16 perspective. And, you know, bear in mind that as I tried to
17 make clear when I was saying look at my list of things that
18 matter to us from a suitability perspective, we're talking
19 about a regulatory definition of suitability per 960. So
20 that list that I had on my slide was--that was the list that
21 shows where the major uncertainties were as we tried to do
22 the evaluation of compliance with 960 the last time we did
23 it, which was at the Environmental Assessment, and then again
24 in the contractor generated document, the Early Site
25 Suitability Evaluation.

26 So, if you ask me where are the major uncertainties
27 and what would I look for to tell me if I had a problem, I'd
28 go back down that list with you--and I could pull it back up.

29 But if I have a high confidence finding that I have a very
30 rapid flow path along the Ghost Dance Fault, and if I also
31 found it was continuous, and if I thought I really had a
32 mechanism in place that could cause a large volume of water
33 to pass through the repository, down that fault, and out, I
34 mean, I think I would then have to look at it from a total
35 system performance perspective and say, "How much transport
36 could I allow and still say I had a suitable site?" You
37 know, what kind of fast flow path? What percentage of my
38 flow path could be along that pathway?

39 Let me see if I can be clear on this. From a
40 ground water travel time perspective, and on Part 960, that
41 issue is really pretty clear. It's going to be a
42 probabilistic approach to defining what percentage of your
43 flow path really could be less than 1,000 years if you look
44 at 960. And you then broaden it and look at it from a total
45 system perspective, then you get more out of what I was
46 talking about before in that you'd have to look at it from
47 what's the total release and how much of it could go along
48 that short path.

1 In terms of--something related to thermal. The
2 second question Leon had was something related to thermal.

3 DR. REITER: Right. The question is, are the thermal
4 properties, the thermal hydrological behavior, in your mind,
5 or minds of other people, is that a suitability issue?

6 DR. YOUNKER: Well, from the standpoint--as I think Don
7 Langmuir said earlier, that if the flux through the
8 repository is really the natural infiltration plus whatever
9 gets redistributed according to the thermal perturbation,
10 which we have to believe that it is, assuming any kind of
11 areal power density that causes that kind of massive
12 redistribution of flux, then obviously, in order to even
13 bound the case in '98, I'm going to have to have some kind of
14 an estimate that's credible for what my flux at the
15 repository level is under those perturbed conditions.

16 So, I guess from that standpoint, Leon, I would say
17 it certainly is a suitability issue and that I've got to have
18 a credible at least bounding calculation for '98, and again
19 for 2001.

20 DR. CORDING: Even if one thought perhaps it isn't going
21 to be a show stopper in any way? It seems that there needs
22 to be good understanding and ability to describe what the
23 mechanism is and what really does happen under various
24 thermal scenarios.

25 DR. YOUNKER: Yeah, I think that's what I was getting
26 at, was if I don't have some handle on the process, then how
27 will I convince people that my bounding scenario is a good
28 one?

29 DR. CORDING: Yeah.

30 DR. YOUNKER: Leon, did that answer your question?

31 DR. REITER: Partially.

32 DR. CORDING: Jean, do you see in months ahead this--it
33 just seems to me that there is going to be a lot of work
34 involved in fitting the physical exploration to the proposed
35 plan and the test objectives and things that relate to the
36 suitability issues. I mean, that really needs to continue to
37 be brought together. And can you describe a little bit as to
38 how you see that process working?

39 DR. YOUNKER: I'm not sure I'm the right person to talk
40 about this aspect of it. I think from the side of the house
41 that I work on, you know, we did the best we could to kind of
42 take the objectives of the new approach and kind of compare
43 it to what the site characterization plan had laid out, to
44 see what aspects of it we would emphasize under this
45 approach, and get kind of the best definition we could, I
46 guess, of the basis for it. The strategies, if you will.

47 But I think from the standpoint of implementing it,
48 then, and putting it into the actual practical program, it's

1 other people who are taking that and moving forward with it.
2 Dennis Williams from DOE, who is a manager in the
3 Scientific Programs area, is here now, and he wasn't when I
4 was talking, when I tried to toss him the ball a couple of
5 times. But Dennis is really involved in that next step of
6 taking it and trying to get the site program, testing
7 program, laid out. So maybe Dennis could comment on the
8 process you have in mind.

9 MR. WILLIAMS: Dennis Williams, DOE. Part of the reason
10 why I wasn't supporting my Jean Younker team here a little
11 earlier is we're really engaged in that process right now.
12 What we've tried to do is take the information for the--I'll
13 use Scenario A for lack of the preferred plan approach or--
14 these titles change a little bit and confuse me. But anyway,
15 taking the information that she has given us with regard to
16 the major elements that we need for site suitability--and, of
17 course, they've done lot of work on trying to determine where
18 we stand on those programs, where we need to be with regard
19 to the bounded situation, or the substantially complete
20 situation.

21 But we take that information and then we turn it
22 over to our managers in the scientific program. And then we
23 actually try to flush out a program that will achieve the
24 goals to get where we need to be in '98 for Technical Site
25 Suitability. And they basically go through all the elements
26 of the SCP, all the elements of the program that we've had in
27 place since basically the beginning of time, and then develop
28 those in concert with the participants and roll it up into a
29 '95, '96 and '97 program. Not only a field exploration
30 program, but a great deal of emphasis on the synthesis and
31 modeling that we need to do in order to make this information
32 meaningful. So, we anticipate that we'll have a major effort
33 in '95 in the field, but also a very major effort in the
34 laboratory with regard to the geochemistry program and a
35 large synthesis and modeling effort.

36 As far as the specific details and what element has
37 how many dollars, I don't have all that information for us
38 here today. But that's what I've got about 24 people back
39 over there in the parking garage working on right now as we
40 speak.

41 DR. CORDING: How does that tie into the people that
42 are--with the constructor side of it, for example? How do
43 you interface with them on just getting this planned out at
44 the site in terms of schedule? How does that tie to their
45 schedule for excavating a facility, for example?

46 MR. WILLIAMS: Well, one of the things that we do, we're
47 trying to take a little bit of the product-oriented approach
48 here. Like with the suitability folks, we actually sat down

1 and said, "Okay, we need to deliver a product to you. Define
2 what you feel to be the specifications for that product, and
3 we'll get an understanding of what we need, and not only from
4 a matter of content, but also a matter of schedule." And
5 then that's what we put in our--basically a criteria
6 statement that we deliver to them at the appropriate time.

7 With regard to design, of course, we have a couple
8 of interfaces, or a different area of interfaces dealing with
9 those folks. We have to provide them design data for the
10 design of tunnels, that type of thing. In addition, we also
11 have to describe for them what openings we will need, say, at
12 the Ghost Dance Fault or at the heater test areas, whatever,
13 so that they can provide the openings at the appropriate time
14 that we need to feed that into a schedule so we can do our
15 testing so we can build our report to hand off to
16 suitability.

17 So it's really quite an intricate process of
18 interfaces dealing with design, dealing with the suitability
19 folks, dealing with PA. And one of the things that we like
20 to do is build a little--I'm a maniac for wiring diagrams,
21 block diagrams and wiring connections of all the interfaces
22 that we need to make sure that we keep track of it so we have
23 the information flow coming in to us on what the needs are,
24 and then the information going back out to our customer.

25 DR. CORDING: Thank you.

26 MR. BROCOUM: I'd just like to--

27 DR. CORDING: Steve Brocoum?

28 MR. BROCOUM: He touched on it, and the reason I got up
29 is I want to say we have a suitability team. The team leader
30 is Jane Summerson. She has a bunch of people that are matrix
31 to her that include people from Science, people from PA,
32 people from Regulatory and Licensing, and that team is
33 helping to define what Dennis called the specifications that
34 we want in each of the key areas. And that team has been
35 meeting over the last several weeks so that we can then say,
36 "These are the kinds of pieces of information we need in
37 Science. You guys go out and get those pieces of
38 information, using what exists and what we think will be in
39 the future." Dennis touched on it. I just want to say there
40 is a formal mechanism for doing that through this Site
41 Suitability Team. Okay, I just wanted to make that point.

42 DR. CORDING: Okay, thank you. Yes, Garry Brewer.

43 DR. BREWER: Brewer, on the Board. We have an
44 impressive collection of consultants here in terms of
45 experience, and I think it was Tony Ivan Smith at some point
46 made the comment that this is a mature industry or business.

47 One or all of you, how would you characterize standard
48 practice in a mature industry to what you see here?

1 MR. IVAN SMITH: It conflicts severely.

2 DR. BREWER: I'm sorry?

3 MR. IVAN SMITH: It conflicts severely to commercial
4 practice.

5 DR. BREWER: I'm not a tunneling expert. I'd like to
6 know what that means. Can you give me some for instances
7 where the conflicts are?

8 MR. IVAN SMITH: Let Jack answer while I think.

9 MR. LEMLEY: Jack Lemley. I think that, at least from
10 my perspective, from just the little bit that I've witnessed
11 here today, it would suggest that we have almost a national
12 research program here involving most of the interested
13 universities and various engineering companies in the country
14 feeding at the trough, if I can express it that way. I think
15 there could be a significant amount of clean-up in terms of
16 the administration of the program, where you had very
17 specific responsibilities assigned to the progress of the
18 various elements, that I don't detect now. I detect
19 management by a very large group of committees, not one
20 committee in particular.

21 I think one of the cleanest presentations I heard
22 today was by Mr. Bullock, recommending a completely
23 independent access into the site. To me, that has an
24 enormous amount of appeal if I were responsible for the
25 program, because it would start to add flexibility. It would
26 start to give you real comparisons in terms of cost and
27 progress and some of the other things that have to go into
28 this program.

29 In my mind, I don't think this falls in the area of
30 commercial normal operations in any respect. I think it's
31 completely outside of that and is almost a total research
32 program on the face of it to drive several miles of tunnel,
33 which, to me, is, as my colleague indicated earlier, it's a
34 very mature process.

35 Bob Matyas described in a very articulate way the
36 experience at the SSC where the civil works and the
37 underground work really was not a major issue in terms of
38 cost or progress. It was how the scientific aspect was tied
39 into it. And I would suggest that that's going to be the
40 problem here, how that interface is really developed, because
41 you've got a whole litany of issues that are confusing the
42 construction part of it. That's probably the most simple
43 element of it all.

44 DR. BREWER: Thank you. Mr. Smith, did you have--

45 MR. IVAN SMITH: Just to amplify my point is what is
46 happening right now. I don't know the intrinsic details, but
47 typically in this industry, a tunnel machine is delivered to
48 the site, and within three, four or five weeks, the machine

1 is operational. There is a shakedown period, and work
2 continues. And for reasons of edict or for a new type of
3 learning curve, there is a great delay.

4 It was about a year and a half ago. I think it was
5 November the 21st, here, I questioned Mr. Gertz on the fact
6 that at that point in time they did not show in their
7 schedule the purchase of the backup equipment. And I
8 commented to him, typically, in a project of this size, the
9 backup could cost more than a typically priced new machine.

10 Well, right now, it's my understanding the
11 conveying system, which is a fundamental part of the tunnel-
12 boring machine, has not yet been purchased. So there is a
13 potential delay of six months to a year. So this is where
14 I'm saying the project is quite different from a normal
15 commercial practice, but if one followed normal commercial
16 practice, then the project would be much better.

17 DR. BREWER: Thank you. In your views, do you think
18 that the management problems that you are suggesting would
19 have any impact or implication on the kind of science that
20 could be done here?

21 MR. IVAN SMITH: I don't think so. I've been associated
22 with the problem. People such as Mr. Bullock have done an
23 extremely dignified and excellent job in terms of estimating.

24 I mean, to actually present 30 different scenarios for
25 tunneling, when typically one would suffice, does not change
26 the quality of the work. I feel that the people that have
27 been involved in this project, from my viewpoint, are
28 absolutely the top you could find. But they've been
29 overburdened in the size of their task.

30 DR. BREWER: Thank you.

31 MR. LEMLEY: Just as an observation, and I do know
32 several of the people involved with the program, you've got
33 the best in the industry working in it. It's really a matter
34 of organization. And it would be my conclusion that if the
35 organization was very effective, the science would be better.

36 DR. BREWER: Thank you very much.

37 DR. CORDING: Thank you, Garry. Bob Matyas, did you
38 have some comments in this regard also?

39 MR. MATYAS: I said earlier that the supercollider as a
40 comparative project suffered from mixing a scientific project
41 with a construction project. Back in the beginning, when
42 this project started in 1984, we started at Lawrence
43 Berkeley. Seven of us tried to address how we were going to
44 do it. And we broke up into groups. One person said, "I'll
45 lead the cryogenics." Another said, "I'll lead the
46 superconducting magnets." And we got some money to pursue
47 these activities to come up with what was called a conceptual
48 design to take to the Department of Energy.

1 After we sorted it all out, it occurred to us that
2 one of the items that was a billion-dollar item was the
3 construction, and nobody was addressing R&D on construction.
4 They took it for granted.

5 So it fell to me to examine that, and I went to the
6 National Research Council, and I said, "Look, we're going to
7 do at least a billion dollars worth of construction. How can
8 we contribute to the general knowledge?" And I must confess,
9 at that point, I was sufficiently naive as to think that we
10 ought to be worried about advanced rates and grip of tunnel-
11 boring machines and muck removal. The answer was, "Not at
12 all." As Tony said, it's a very sophisticated business. And
13 today, it's even more sophisticated. The answer was,
14 management is where you need to spend R&D dollars, to manage
15 a large construction project.

16 And it took a while, but I managed to get \$130,000
17 given to the USNCTTT, and they produced a study, which was
18 followed very carefully. Not completely, unfortunately. But
19 I think it was that kind of direction that allowed us to keep
20 separate the construction of a major project versus a major
21 scientific endeavor.

22 One of the things that I'd like to ask somebody--
23 it's probably not in the context of this panel--but does
24 somebody really have their arms around the science that one
25 wants to do? Or is it just an open situation? Anybody that
26 knocks, can they come in and do this? Is there a Chief
27 Scientist?

28 MR. WILLIAMS: I didn't stand up because I consider
29 myself to be the Chief Scientist. However, as to who has
30 their arms around the science on this program, it is my boss.
31 Her name is Susan Jones. She is Assistant Manager for
32 Scientific Programs. She is the one that basically makes the
33 decisions on the science here. I am her deputy. We
34 basically--for lack of a better term, we basically are
35 attempting to get our hands around the scientific program.

36 I guess while I'm up here, one other thing, I take
37 a little bit of an offense at the terminology of "feeding at
38 the trough," because I think that the people that you have
39 here are basically trying to carry out the rules that were
40 developed by others. They did not develop the rules.
41 They're just trying to do this scientific effort to the best
42 of their abilities. It's not a construction job, it is a
43 science job. And again, that's my opinion, and I think the
44 DOE management would probably concur with that opinion.

45 DR. CORDING: Thank you.

46 MR. LEMLEY: That doesn't surprise me at all, and I
47 certainly didn't mean to cast dispersions on the individuals
48 involved. As I said, I think you have a group of some of the

1 most talented people in the world working on this

2 I drew the conclusion, however, from the very wide
3 attendance that attended the conference here in Las Vegas
4 about two weeks ago on this program. It's a fairly narrowly
5 focused program in terms of the science and in terms of what
6 has to be done in this program. It's sophisticated, it's
7 involved, but it's fairly narrow. But you had something in
8 the neighborhood of 1,000 people attending quite a narrowly
9 focused program, and most of them, in some way or another,
10 were involved with the program. And from my observation,
11 most of the papers were coauthored by DOE people. And it
12 seems to me that this program has taken on a life of itself
13 with no program, no schedule attached to it. That's the part
14 that is distressing to me.

15 I left Morrison-Knudsen in 1987. I was involved in
16 the BWIPP project. I did have a fair amount of input into
17 their activities in this regard, and it seems to me I've
18 heard all of this in the early '80's talked about with the
19 same degree of fervor as we're hearing it now. And I don't
20 understand what happened to the last ten years.

21 DR. CORDING: Dennis?

22 MR. WILLIAMS: Dennis Williams here again. We probably
23 have a lot of things that you and I could discuss outside
24 this forum, but I would like to explain to you sometime my
25 perspective on the High-Level Waste Conference here a couple
26 weeks ago.

27 A lot of the scientists that work on this project,
28 that's a forum for them to present some of their work. And I
29 would like to emphasize that that is some of their work. I
30 mean, they might have a few weeks of very limited activity
31 that they can roll up into a scientific paper that they can
32 present, but that does not represent all the products that
33 are going into the DOE to satisfy some of the more mundane
34 things of science, of design and, if you will, construction
35 of the facility.

36 So, I think we could probably have an enjoyable
37 discussion sometime later about this.

38 MR. LEMLEY: Indeed.

39 DR. CORDING: Yes, Tony?

40 MR. IVAN SMITH: Mr. Williams, you made a comment about
41 this is a scientific project, not a construction project,
42 when the major element at this time is the construction
43 project. Could you qualify your remark?

44 MR. WILLIAMS: I realize that it takes construction in
45 order to capture the science. I'm not new to that kind of a
46 process. I'm quite new to DOE. I come from the Bureau of
47 Reclamation, one of the projects that you cite, the Central
48 Utah Project. We had a lot of construction there, we

1 collected a lot of science. In that capacity, I was somewhat
2 their Chief Scientist for the Central Utah Project. So I
3 think I have some understanding of how to capture the science
4 at the same time that we have construction. And that's what
5 we're trying to incorporate into our program here.

6 MR. IVAN SMITH: Well, hopefully, knowing your
7 experience there, that the same efforts can be made here,
8 because they were diligent, and it's an operating system that
9 is--we're very proud to have the Central Utah Project there
10 in Utah.

11 MR. WILLIAMS: Okay, well, I think that we can do that.

12 DR. CORDING: Bill Simecka?

13 MR. SIMECKA: Yes, I'd like to make a couple points.
14 First of all, from my perspective--I'm in charge of
15 engineering and construction--and I know firsthand that from
16 my perspective it is a science program. And I accept that.
17 I don't see any reason why it shouldn't be, because we are
18 trying to determine site suitability, and it takes scientific
19 material, data, etc., to make that decision. So I think you
20 can't do things the way you could, maybe, in supercollider.
21 Even though it's a scientific program, the construction
22 didn't have anything to do with the science.

23 Secondly, we don't do things very efficiently, and
24 you have detected that--in the construction area, because we
25 don't have adequate funds to buy the stuff that we need when
26 we want it. Now, from a management standpoint, I guess you
27 can say that's a failing that we haven't allocated our funds
28 appropriately to go buy the construction stuff efficiently,
29 but we're trying to balance this scientific program. We've
30 got the scientists working, and you can't just lay them off
31 for a couple years while you buy a conveyor. So if we had
32 adequate funds--and of course that's a universal solution to
33 everything--we could accomplish some of the things that you
34 detect as deficiencies.

35 So I think that the project--and here I guess I'm
36 on my soapbox, but--we don't tell you the progress we've
37 made. There's a lot of progress that Dennis just mentioned
38 that's in the minds of the scientists, that are in the papers
39 that haven't been published yet, and so forth. We don't tell
40 you about those things. And we're amassing that. All you
41 see is the holes in the ground, the number of boreholes, and
42 things like this. And we've been damnably slow in getting
43 those holes. Obviously we want to get those holes as fast as
44 possible to get underground and see what's there.

45 So, I think that you're underrating us from
46 progress standpoint if the High-Level Waste Conference and
47 these meetings are all you believe is the progress. Maybe we
48 need to work on how to market what we do a little better.

1 DR. CORDING: Okay, thank you, Bill. Any comments?

2 MR. MATYAS: Let me make another comment. I think Bill
3 is right that the difference between the supercollider and
4 this is that you want to collect data on the material you're
5 excavating, and I buy that. But I guess what I'd like to say
6 to you is, the quicker you get in, the more you're going to
7 learn about what you want to do, and it's going to change.
8 And you someday have to bite that bullet and get in there
9 using industrial tunneling techniques, and you'll be
10 constantly reassessing and reevaluating your scientific
11 program.

12 The tunneling community can work with you. It's a
13 very efficient group of people. They're very sophisticated
14 techniques. I just came from the North American Tunneling
15 Conference in Denver last week, and the work that's been done
16 on micro tunneling is very exciting. I think you might want
17 to harness some of that technology as well.

18 But you've got to start learning how to react to
19 the mining into the mountain.

20 DR. CORDING: I think that to me it obviously goes both
21 ways, and the science side has to explain to the
22 construction, "This is what we need." And then I see a lot
23 of the situation with the construction is saying, "These are
24 some opportunities that we might be able to provide." There
25 are certain things that could be done that will enhance the
26 ability to get the science. And I think, for example, of
27 using a tunnel-boring machine, a small diameter tunnel-boring
28 machine, perhaps very small even, to do drifting for the
29 thermal tests. And the resulting surfaces that will be
30 provided will be much more like those that might be actually
31 used in the drift-in-place facility. And by optimizing that,
32 you get better science, I think, out of it if you tie the
33 construction together with the science and keep working back
34 and forth on that interface, which I think is one of the
35 toughest ones, at least in my experience with projects.
36 That's obviously one of the toughest ones to deal with. And
37 it's going to be a constant tension, but I think there are
38 contributions that can be made on each side.

39 I'm encouraged to see some of the things that are
40 going on in rethinking some of these things and coming up
41 with a better approach, for example, for the core test area--
42 what used to be described as a core test area. And so I
43 think there's a lot here. And even within the last year,
44 Bill was saying, well, you have to get through the repository
45 before you do these other things. But there are some
46 possibilities here that are being described where there can
47 be some other--with some of the more recent developments--
48 some operations that could go on without causing some of the

1 interferences that we anticipated a year and a half ago.

2 So I think this is going to be an area or constant
3 tension, but one in which there's a lot to be gained from
4 efficient construction that takes care of the science needs
5 and meets the science needs.

6 Yes, Clarence Allen?

7 DR. ALLEN: Clarence Allen. I'm a scientist through and
8 through, but I'm sort of astounded to hear people saying this
9 is a scientific project. To me, this is ultimately an
10 engineering project. Namely, how to get nuclear waste
11 underground.

12 Now, it's a first-of-a-kind project. There are
13 many unanswered questions, particularly with regard to the
14 length of time we have to worry about for safety. And so an
15 awful lot of science has to be done before we convince
16 ourselves and our regulators that indeed it's safe, if indeed
17 it will be. But nevertheless, ultimately it's an engineering
18 project.

19 And I share with you some of the concerns in the
20 project. The question hasn't always been asked in doing the
21 science of how that particular project is going to effect
22 site suitability. I think there's some very good science
23 being done. I wish more often the question were asked, how
24 will this particular project possibly effect suitability or
25 eventual licensing?

26 Having said that, though, I--this is very different
27 from many projects in that we must satisfy the people of the
28 country, we must satisfy our regulators, the EPA and the
29 Nuclear Regulatory Commission. To some degree, they are
30 asked for things that we may not completely agree with and we
31 may think are illogical. Nevertheless, ultimately, if the
32 project's going to be successful, we have to satisfy the
33 regulators, and that's the way the system works. But it's
34 not as though the DOE can make up its own mind completely as
35 to exactly what's the most relevant and what isn't, because
36 the regulators have to be satisfied, and that's the way the
37 system works.

38 DR. CORDING: Okay. I think we're a bit ahead of
39 schedule, and I would suggest that we end our session today
40 and start tomorrow morning at 8 a.m. Bob Nelson, who's in
41 charge of the Yucca Mountain Site Characterization Office,
42 will be making his presentation. We're going to have time
43 for more discussion, more round-table discussion. I'd like
44 to have that after we've had a chance to hear some more of
45 these things. And Bill Simecka's already described some of
46 the things he's going to say, but we'll hear that tomorrow
47 morning as well as Dean Stucker is going to be describing
48 some of the advanced design for the repository itself. So,

1 we'll do that tomorrow morning at 8:00.

2 Thank you very much. Appreciate your
3 participation, consultants, DOE participants and audience.

4 (Whereupon, the meeting was adjourned, to reconvene
5 Tuesday, June 14, 1994, at 8:00 a.m.)

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25