

NUCLEAR WASTE TECHNICAL REVIEW BOARD  
MEETING OF THE PANEL ON STRUCTURAL GEOLOGY & GEOENGINEERING  
ESF/REPOSITORY DESIGN AND CONSTRUCTION

Las Vegas, Nevada  
June 14, 1994

BOARD MEMBERS PRESENT

Dr. John Cantlon, Chairman, NWTRB  
Dr. Edward J. Cording, Session Chair  
Dr. Garry D. Brewer, Member  
Dr. John J. McKetta, Member

CONSULTANTS

Dr. Clarence Allen  
Dr. Donald Langmuir  
Dr. Dennis L. Price  
Richard Bullock  
Alden Segrest  
Dr. Jean Younker  
Jack Lemley  
Antony Ivan Smith  
Robert Matyas

NWTRB STAFF

Dr. William Barnard, Executive Director, NWTRB  
Dr. Carl Di Bella, Senior Professional Staff  
Dr. Leon Reiter, Senior Professional Staff  
Mr. Russell McFarland, Senior Professional Staff  
Ms. Nancy Derr, Director, Publications  
Ms. Linda Hiatt, Management Assistant  
Ms. Donna Stewart, Staff Assistant

## ALSO PRESENT

Kal Bhattacharyya  
Steve Brocoum, DOE  
Bill Simecka, DOE  
Dennis Williams, DOE  
Dean Stucker, DOE  
Robert M. Nelson, DOE  
Alan Berusch, DOE  
Hugh Benton, M & O/B & W Fuel  
Larry O'Neal, M & O  
Lance Destwolinski/REECO  
Lee Renegar  
Bob Saunders  
Dan Coss

I N D E X

	<u>PAGE NO.</u>
<b>Recent management changes at Yucca Mountain</b>	
Robert Nelson, Yucca Mountain Site . . . . .	171
Characterization Office (YMSCO)	
<b>ESF update</b>	
William Simecka, YMSCO . . . . .	200
*construction management status	
*ESF design review schedule	
*schedule for north ramp construction	
*ESF strategy within the proposed program approach	
<b>Repository advanced conceptual design: key assumptions, schedule, thermal loading</b>	
Dean Stucker, YMSCO . . . . .	229
<b>Round-table discussion</b>	
Presenters and Board . . . . .	270
<b>Closing remarks and adjournment</b>	
Edward Cording, NWTRB . . . . .	291

1                                   P R O C E E D I N G S

2           DR. EDWARD CORDING: Good morning. We had some good  
3 discussions yesterday. We're looking forward to more today.  
4 I think that we realize that the program is at a very  
5 important crossroads, a crucial time in the Yucca Mountain  
6 program. Many things are beginning to happen, and there is  
7 much, obviously, to be done, and I think that this is a  
8 feeling that we've had on the Board. This is a time for us  
9 to be able to find out what the program is in the time when  
10 it is still evolving, but it has to move very rapidly to  
11 achieve objectives that are being set.

12                   So we really appreciate the opportunity to have the  
13 discussion with DOE and its contractors. We appreciate very  
14 much, also, the people that are with us today from DOE.

15                   At the table today, we have Robert Nelson, the  
16 Acting Project Manager of Yucca Mountain site  
17 characterization project; Bill Simecka, who is in charge of  
18 construction for the Yucca Mountain site characterization  
19 project; and Dean Stucker, also with the project office. So  
20 we really appreciate you being with us today.

21                   And so I would like, then, to introduce Robert  
22 Nelson, who will make the presentation on recent management  
23 changes at the Yucca Mountain project.

24           MR. NELSON: Thank you very much.

1           I'm going to talk about really what has consumed  
2 most of my time in the six months or so that I've been with  
3 this project in an acting capacity from the DOE Nevada  
4 office.

5           When I came here in November, it was with the  
6 understanding from Dan Dreyfus that there were clearly some  
7 changes needed in the management side of the organization,  
8 and that was really my major focus, to be my major focus for  
9 whatever length of time I was here. And I really tried to do  
10 that.

11           We always are faced with the need for changes, and  
12 some of them can be very positive, and some of them can be  
13 negative. There's always resistance to change, and so in  
14 trying to make some of the things I'm going to go through  
15 with you happen, there have obviously been people kinds of  
16 problems where the resistance to change has to be overcome  
17 and in some cases, in most cases here, that's been a very  
18 positive thing I must say. The people in the project that  
19 I've been able to work with have really tried to make this a  
20 win-win for everyone, and I think we're going in that  
21 direction.

22           We have lots of criticisms, and they exist. Some  
23 of them are well-founded. Some of them are probably not as  
24 well-founded, but that things that I've tried to deal with  
25 and that I'm going to talk about this morning really are in

1 that upper group there, the first four items under program  
2 management.

3           There's a concern with those that I'll try and deal  
4 with a little bit, too, and that is we had kind of something  
5 that was characterized as the Pac Man syndrome in the  
6 management of this organization. There was a lot of fear and  
7 concern among the participants that another participant was  
8 eating up their work. What that led to was a--oh, at least  
9 at some level, a need to defend the institution that you  
10 represented so that the funding would continue and your work  
11 could continue. And that sometimes got in the way of making  
12 decisions, and I think we've tried to address these things  
13 through this period of time. And there are a bunch of  
14 changes.

15           I've put a lot of effort, tried to really focus at  
16 clarifying the organizational rules, making changes. What  
17 the second bullet there really means is pushing the decision  
18 making as low as I can in the organization and putting a  
19 smaller number of entities in charge of the major pieces of  
20 work so that I can do a better job of holding people  
21 accountable and responsible for their work. That's really  
22 the focus of all of this.

23           This has been a program where there's been  
24 tremendous scientific achievements, I think, over the years.  
25 I actually came here to Nevada in 1978 and was the manager

1 of a part of the Nevada operations office that became this  
2 program. So, you know, it was one of those things in a  
3 career where you get through with, go onto something else,  
4 and think, wow, I survived it. Now I've kind of covered my  
5 tracks and go onto something else. And then to have to come  
6 back and see it again 15 years later is kind of surprising.  
7 Places where there were no roads now have paved highways, and  
8 it's really interesting to do that. But it's probably one of  
9 the most difficult things in making the changes in the  
10 management of the organization, come around to trying to do  
11 that without adversely affecting the technical work.

12           I, from 1990 through a good part of 1993, I was  
13 asked to go up to Rocky Flats after the FBI raid and make the  
14 changes that Admiral Watkins needed or felt he needed at that  
15 plant.

16           We were not able to do that in a manner which  
17 didn't disrupt the work. And so for a lot of different  
18 reasons, principally because it affected the health and  
19 safety of both the public and the workers, they were things  
20 we just had to do in a very severe way. And the result of  
21 that was an incremental cost. We made the changes, changed  
22 the culture, but it took three years, and it cost an  
23 incremental amount of money of about \$200 million a year  
24 extra, and in those three years we put out zero product.

25           And so when I talked this through with Dan Dreyfus,

1 I said, you know, there's a couple ways to do this, and  
2 that's the one I would like to avoid. I've got my ticket  
3 punched in that style of business.

4           And so what we went into here was a way which  
5 probably will take about the same time, three years, but  
6 hopefully will be done in a manner that doesn't disrupt the  
7 technical work, and that's a pretty high priority to me.

8           I'm going to go through a little bit of kind of  
9 organizational boxology.

10           I'm really a believer that almost any organization  
11 chart can work if the people want it to work. There's  
12 nothing magic about how the boxes report. But this was the  
13 organization at the time I came here, and there were really,  
14 from my standpoint, some really key problems with it and  
15 things that I felt had to be changed.

16           First of all, there was this dual job of project  
17 manager and associate director, which probably was put--I  
18 have no idea how that evolved in history, and it probably had  
19 a good idea that put it there, but in today's world, for  
20 whatever reason, it seemed to me to be overtaken by events  
21 and was not necessary.

22           And so one part of organizational change was  
23 clarifying that role, whatever that role was.

24           A second one was, that was really a void in my  
25 thinking, was that there is no professional administrative

1 organization in here. There is certainly a very good project  
2 control function, and that's something that has become kind  
3 of the model for the whole national program, but there is no  
4 high level expert on procurements, organization, personnel,  
5 the functions that really enable the technical work to go.  
6 And, also, there is no full-time lawyer, no legal support  
7 really that was all to this project, in a project that is  
8 heavily--has heavy legal demands on it.

9           Those were a couple key problems I had. I brought  
10 down at the vintage of this chart, I brought down a person  
11 who had worked for me at Rocky Flats, a really outstanding  
12 knowledgeable administrative expert, Marshall Bishop, who is  
13 here today, and I brought down also my chief counsel from  
14 Rocky Flats. And in the new organization chart, those two  
15 are key players in this chart. We have Kathy Izell, who is  
16 also here today, and Marshall Bishop now in the line  
17 responsibility of assistant manager for administration.

18           There is a little typo. I do have a boss here--  
19 should have a line. I noticed because I went through those  
20 this morning.

21           But there are a couple of key things that I'll  
22 refer back to this chart from time to time. We've tried to  
23 firstoff push the responsibilities down to these line  
24 managers to get out of the mode of decision making at a very  
25 high level and enable these people to really develop

1 functional organizations from the performer parts of the  
2 contractor staff responsive to their needs and their control  
3 on the work breakdown structure. And we're just starting at  
4 that, and there's a lot to come in terms of pushing that  
5 decision making to the real technical expertise.

6 DR. ALLEN: Could I ask a question?

7 MR. NELSON: Certainly.

8 DR. ALLEN: Clarence Allen. The three people on the  
9 bottom line, do they all report to Wendy Dixon?

10 MR. NELSON: No, no, that's another--

11 DR. ALLEN: Okay.

12 MR. NELSON: Maybe I ought to ask Wendy that. I'd  
13 probably get a different answer. No, another typo.

14 DR. ALLEN: Okay.

15 MR. NELSON: Let me step back in a little bit of--was  
16 there another question?

17 DR. PRICE: Yeah. To whom do they report?

18 MR. NELSON: They report to me, as does Wendy.

19 If I were to step back and say I were starting  
20 doing the perhaps Draconian thing and redesigning the  
21 organization today, how would I like it to be? It's more in  
22 this model. This is a model I'm much more used to where  
23 there is a Federal entity with a Federal responsibility, a  
24 landowner, a need for a bunch of work to be done, and the  
25 ability to go let a contract to get it done, through a very

1 large several thousand person organization, and clearly a  
2 need for some technical support that I can't hire in the  
3 Federal work force, both in number and in talent, and so some  
4 other contract able to support me.

5           Again, if I were to step back and say, how would I  
6 build this organization if I were given that charter today,  
7 this would certainly be the model I would like to go after.

8           And pretty much that's what we had to do at Rocky  
9 Flats. We put a new contractor in here. We brought in a lot  
10 of people in this role, and we imposed that on the  
11 organization with very disruptive results for a good set of  
12 reasons.

13           What I've tried to do, and what I'll talk about  
14 doing here, is working from where we are today where there  
15 are a lot of entities reporting to the entity here and a lot  
16 of people in this role that are somewhat intermeshed with the  
17 performers to work from that into this model, and this is my  
18 objective through the process, and actually it's going much  
19 faster than I ever thought it would.

20           What I've tried to do--what I've done is to take--  
21 firstoff, organize the department in the manner you saw.  
22 Secondly, or really in parallel, to identify uniquely those  
23 contractor people who support us directly, whose function is  
24 really the project management. And we've called that, this  
25 part up here, the project management organization.

1           Now, it turns out that many of the contractor  
2 people in this contractor support organization work for the  
3 same contractors that are here, and that leads to certainly  
4 concerns anyway about conflict of interest, communications.  
5 Do they have to report everything they do to help me here to  
6 their bosses down here? In some cases, these are the bosses  
7 of workers down here, and that's not an acceptable way of  
8 doing business.

9           So our first step was, and we're pretty well done  
10 with that, to pick out and identify those people, and we've  
11 actually gone the step of giving them a unique name tag for  
12 their badge that shows when we're in a meeting, that at least  
13 I can see what flag they're flying at this point in time.

14           The next step of this is to really sever the  
15 relationship between that group of contractors and this group  
16 of contractors, and there's a couple ways of doing that. The  
17 simple easy appearing way is to literally make it a new  
18 contract for that group, even though the talent and  
19 experienced people that we want to keep are there and we want  
20 to keep them. We don't want to disrupt that.

21           So we're working through that. There are other  
22 ways to do it under the same contract, and I'll show you one  
23 proposed way of doing that. That's kind of the second part  
24 of this.

25           The third part is really to organize the performers

1 in a way where there are one or two perhaps major--maybe  
2 three, but a small number of major entities here, such as the  
3 TRW or perhaps SAIC, or whatever, who are responsible for the  
4 work in their area, and that means to me totally technically  
5 responsible once this group has given them that charter and  
6 funded them.

7           Now, that doesn't necessarily mean that each one of  
8 them has to do the subcontracts. For example, with a  
9 National Laboratory who's helping in that area, they can give  
10 technical direction to that work without necessarily having a  
11 subcontract with the laboratory. And that's very important  
12 because there are a lot of procurement requirements for doing  
13 work with National Laboratories or other Federal agencies  
14 that could cause that to cost more if they had to have  
15 subcontracts.

16           I'm not precluding that; I'm trying to keep the  
17 options open to do it in the smartest way. I can authorize  
18 the TRWs or the SAICs or anybody else to give technical  
19 direction to the laboratories or to other contractors and  
20 make it to where they're responsible, even though the funding  
21 may not flow through that.

22           And what we're trying to do is pick the best  
23 options, and they're probably going to be different maybe  
24 from laboratory to laboratory or from contractor to lab, or  
25 whatever.

1           But the point is to get down to where it appears to  
2 be one or two major boxes here of performers so that we can  
3 keep the talented knowledgeable people that have been  
4 involved with the project and yet get down to this kind of a  
5 model.

6           The fourth phase of this thing, the real ultimate  
7 goal, is to get all of those performers to be one entity, and  
8 we're working on that. There's a lot of work going on  
9 between the corporate managements of those large contractors  
10 to pull that off, and they've been very cooperative. I've  
11 got to give them a lot of credit for swallowing hard and  
12 dealing with those issues. But I think by the first of the  
13 fiscal year, somewhere around there, we will really be in a  
14 point where there will at least be proposals to the  
15 department from them for how to do that, and I'm really  
16 pleased with the way that's going.

17           Now, I've kind of divided up, because it's  
18 something that my own staff and myself are really--this is  
19 where we are. We really need to get to a point of figuring  
20 out what are our roles as the Federal entity, what does that  
21 project management organization do, and then what are the  
22 roles of the performers.

23           And we haven't done that. I mean, these are the  
24 pretty obvious things that I put on these sheets, but on the  
25 day-to-day basis, one of the concerns I have is that my

1 Federal staff probably does more of the doing of work than  
2 I'm comfortable with. Now, that doesn't mean I'm right, and  
3 I want to learn and work with them in those particular areas  
4 and make sure we're doing what's best for the project. I  
5 have this kind of sense that I would like our Federal staff  
6 to be more in the oversight role than in the doing role, and  
7 that's really where we are. We're trying to work through  
8 that.

9           I have an off-site couple days with my key staff in  
10 the next week just to deal with those kinds of issues, what  
11 level of the WBS structure, the work breakdown structure, do  
12 we control that, and what do we turn over to the major  
13 contractors to control. And likewise, what is it we're  
14 expecting that PMO organization to do for us?

15           I kind of talked through these as I went through.  
16 We really have the Phase I, the construction of that project  
17 management organization in place. We're dealing with the  
18 roles and responsibilities. We're really working--I love  
19 these words somebody made for me--the seamless mosaic.  
20 That's wonderful. I would like to see that. I would like it  
21 to be one organization, and we're getting there, and  
22 ultimately, which will take a long time. A cultural change  
23 takes three years. That's just my rule of thumb.

24           I'd like this to break down the barriers among the  
25 performers and really have this be a team.

1           This is just an example. TRW, I asked for  
2 permission to put this up and share it with you because it's  
3 really their thing. They have proposed to us a plan on how  
4 to separate the PMO from the doers, from the performers, and  
5 to have the PMO manager, Glen Vawter, report to a higher  
6 level than the Nevada M & O manager in the corporation.

7           It comes down to employees signing non-disclosure  
8 agreements, and I would have that in this proposal, I would  
9 have that as an award fee area. If they were not serving me  
10 in that manner, they would not get award fee.

11           So this is one scheme that's out. My key staff is  
12 working. There will be counter proposals and one thing and  
13 another, but ultimately, we will make that separation.

14           Here's where we're going. We are having an off-  
15 site next week to deal with what are these roles, and I don't  
16 fee that each of our assistant managers have to do it the  
17 same, but I want them all to understand what each other are  
18 doing, and I want to understand it, too, and we're working  
19 toward this pulling all of the entities together into one  
20 organization.

21           It's clear that we're going to make some changes,  
22 and I think from the people's side of it, it's gone very well  
23 so far. There are concerns, of course, whenever there are  
24 changes, but both my staff and the contractor's staff have  
25 really gone into this with a good attitude, and I think we're

1 going to pull off many of these changes. And I think it's  
2 going to be really helpful to being able to make good  
3 decisions on the program.

4           So with that, I'd like to answer any questions you  
5 have.

6       DR. CORDING: Thank you.

7           Opportunity for questions. Garry Brewer?

8       DR. BREWER: Brewer, of the Board.

9           In your opening comments, you noted that you were  
10 proud of various scientific achievements that have been made  
11 at some point, and then you didn't specify any. I wonder if  
12 you could list those achievements, just what are you most  
13 proud of?

14       MR. NELSON: Well, I guess there are a lot of things.  
15 I've kind of watched this project for 15 years. When I was  
16 involved with it in the late '70s and early '80s, we knew  
17 there was a block of rock, and there were no QA requirements  
18 in those days, and there was not an NQA-1 prepared. There  
19 were no nuclear waste legislation.

20           I think being able to get to a point where we  
21 understand the boundaries of that block as well as we do and  
22 have done that in the manner that the data is acceptable, I  
23 think has been a major achievement, I mean from what I've  
24 seen.

25           Now, I think there's--well, I'm not an earth

1 scientist in any manner, and so to try to talk that part of  
2 the science is probably way beyond me. But I've seen this.  
3 I've been involved with technical work for most of my career,  
4 and I think the efforts that have been made to go and do just  
5 that, just get the boundaries of that block and understand  
6 what the areas of positive and negative are, has been a big  
7 accomplishment.

8 DR. CORDING: Garry?

9 DR. BREWER: This is a different question, but I'd like  
10 to go back to one of your charts, the reorganized Yucca  
11 Mountain site office, if you would, please?

12 Now, I wonder how many of the people on that chart  
13 will not be here in six months. The question is  
14 responsibility and accountability, well who's going to be  
15 responsible is the question.

16 MR. NELSON: Well, in six months I would guess Max  
17 Blanchard will probably not be here, and I would guess Bill  
18 Simecka would not be here.

19 DR. BREWER: What about yourself?

20 MR. NELSON: That's a good question. I wish I knew the  
21 answer to that. If you saw the paper this morning, you saw  
22 that the manager and Linda Smith, who was acting in my place  
23 as the deputy manager, are leaving the Nevada field office  
24 within two months. And I told my secretary this morning,  
25 "We're probably going to get a phone call or two today."

1 I have no idea. I don't know.

2 I'll tell you--I'll share with you what I told Dan  
3 Dreyfus. I think that if I had my druthers over, say the  
4 better part of the next year, I would do better spending my  
5 time right here than to go back over there. This is a  
6 growing project. There is something that I really believe in  
7 here and something I think I know how to do.

8 In the Nevada office, they're going to go over some  
9 really hard times I think in the next year. And, frankly,  
10 I'd rather be here.

11 I mean, so now what Dan Dreyfus is going to do with  
12 that or others, I have no idea. So I just don't know.

13 DR. BREWER: Let me be a bit more specific. We  
14 discovered yesterday that the practices in terms of the  
15 tunnel boring machine and creating the exploratory studies  
16 facility are not industry standard in terms of expectations,  
17 performance, cost, or anything else. Our consultants have  
18 said that in public.

19 Where do we go to see who is accountable? You've  
20 made the claim the responsibility and accountability has been  
21 pushed down. Who is responsible for that?

22 MR. NELSON: Well, in a very major sense, I expect  
23 I am. I mean, there are certain things, obviously, that I am  
24 responsible for, and something like that, I certainly am.  
25 Getting to the surface, the decisions, for example, with a

1 tunnel boring machine of do you just run that thing as fast  
2 as you can as if it were a commercial hole in the ground, or  
3 do you make it artificially go very slowly so that you can do  
4 the science along with the way at a very much increased cost?  
5 Those are very hard decisions.

6 DR. BREWER: We heard from Mr. Williams yesterday that  
7 the speed of the operation and his capacity to do science are  
8 unrelated. If it goes fast, he can still do the science. He  
9 told us that. So what's your point?

10 MR. NELSON: Well, my point is that I'm not sure that  
11 that's correct. That's a decision that needs to be made, and  
12 how fast we do things to that rock in terms of support, rock  
13 bolt, shotcrete, whatever, certainly will affect the ability  
14 to be the science.

15 DR. BREWER: Thank you.

16 DR. CORDING: John Cantlon?

17 DR. CANTLON: Yeah, Cantlon, Board.

18 Could you expand a little bit on the role of the  
19 National Laboratory? These are DOE's National Laboratories,  
20 and, obviously, a lot of the expertise that has been on a  
21 long learning curve for the site are there, and obviously you  
22 have a big prior investment and so on in that.

23 And yet, you were commenting on the intricacies of  
24 how one can get real oversight management, when they are not  
25 under the manager that you want to be accountable.

1           Could you sort of flesh that out for us a little  
2 bit because it does impose a constraint on management that's  
3 unique, really.

4           MR. NELSON: It really does, and that's probably one of  
5 the more difficult things that I think we'll be facing over  
6 this period of time. I've worked with the National  
7 Laboratories for a long, long time, and I have a great deal  
8 of respect for their work.

9           What I envision happening here is developing  
10 probably a different relationship than we've really had  
11 before with them, certainly within the capabilities of the  
12 business. But I really--if I took what Steve Brocoum has in  
13 the site suitability and licensing area, he has the Sandia  
14 Laboratories really big time in performance assessment. I  
15 don't want to get in the position of trying to recreate the  
16 laboratory, Sandia, as a particular capability in computers,  
17 let's say, in TRW. That would be tremendously expensive, and  
18 I wouldn't gain anything.

19           So what has to happen here is a relationship  
20 between TRW, who I want to put in charge of performance  
21 assessment, and Sandia. And at the moment what I've done is  
22 asked them to tell me what makes sense to them. I think that  
23 the current management of TRW feels--the management--I don't  
24 mean to imply anything current. But the management of TRW is  
25 used to subcontracting work directly. In other words, they

1 know how to go do a subcontract with an entity to get a  
2 function done, and I think their druthers in that context is  
3 exactly to go get a subcontract with Sandia. And that's okay  
4 with me.

5           There are other ways, and the National  
6 Laboratories, because of the Federal investment and ownership  
7 of their capabilities, have to charge extra fees for doing  
8 work for a commercial entity. There's a 40 per cent charge.  
9 Now, I'm sure I can waive that somehow because they're not a  
10 commercial entity doing commercial work. They're doing my  
11 work.

12           But all I'm saying is there are some hurdles to go  
13 through if we did a subcontract, and there may be some  
14 contractual pros and cons to that.

15           Now, there's a lot of experience at the Nevada test  
16 site and other places where the National Laboratories are  
17 directed by a contractual document through their contracts to  
18 take technical direction from somebody else.

19           And so if it makes sense financially or otherwise,  
20 they could continue to be funded through their DOE contract,  
21 and I could authorize the TRWs to give them technical  
22 direction. And that's okay. Right now it's in the stage of  
23 those entities working together. It's going to work better  
24 if it's their decision and I can support it than if I direct  
25 it. And in either way, I can find a way to make it work, and

1 there are probably pros and cons to both.

2 DR. CANTLON: Yeah, let me follow up. I, having been a  
3 program director at NSF and a vice president for research in  
4 the university, I have been through this a number of times.  
5 And if you leave the entities to their own devices, every one  
6 of them will put on their markup and overhead and kill you  
7 with this multiple-tiered overhead situation.

8 NSF and universities have long since gotten to the  
9 point of waiving indirect so that there's only one indirect  
10 cost, one party collects indirect cost.

11 So it does seem to me there are precedents for  
12 handling what is, I think, a historically evolved situation  
13 where you really do have the key talent in those National  
14 Labs who are employees of another contracting firm to DOE.  
15 They'd all like to have their little bite.

16 MR. NELSON: Well, and we have talked. We have not  
17 reached an agreement. I mean, there is precedent within TRW,  
18 let's say, to waive their fee on money that's passed through  
19 where we reach that as an agreement. That's just what you're  
20 saying, and we're aware of that. And we've brought it up in  
21 this particular case as if we go that way and pass the money  
22 through you, we would certainly like you to waive the fee so  
23 that we're not paying extra for that.

24 DR. CANTLON: It certainly clarifies the accountability  
25 line if you can do that, and it seems to me one of the

1 Board's almost continuous criticisms of the project has been  
2 management accountability to get what you really want to  
3 prioritize the system.

4       MR. NELSON: I agree. I mean, in one way or another  
5 we're going to do that, and it may work--you know, the  
6 National Laboratories, those three in particular are going  
7 through some very dynamic times themselves, and they're  
8 having to find ways to deal with commercial entities, where  
9 before they didn't have to, and they could be very arrogant  
10 about that. And now it's survival. There are, obviously,  
11 other interests.

12               And so I'm trying to just let that proceed at a--  
13 and it's going at a pretty good pace of discussion, and  
14 hopefully, I think we know all the tricks, most of the  
15 tricks, and as I say, I brought Marshall Bishop down. He  
16 certainly is knowledgeable, and Kathy Izell is an attorney  
17 who is a procurement attorney. I think I can bring as much  
18 talent to the table in those negotiations as they can. So  
19 we're working on it.

20       DR. CORDING: In this multi-layered system, the not only  
21 accountability, but the duplicate of functions, I think you  
22 mentioned that, that sometimes groups are doing the same sort  
23 of things.

24               Have you seen opportunities to actually reduce some  
25 of the duplication that occurs in a system like this and to

1 be more efficient in the number and use of personnel?

2 MR. NELSON: Yeah, we're working on that. You know, I'm  
3 not going to claim very much success. At a very low level,  
4 things like Raytheon Services, there are a couple of key  
5 places where Raytheon--where I'd really want to keep the  
6 talented people in Raytheon, such as survey, the electrical  
7 grid work, maybe a couple others, maybe some of the  
8 engineering talent. But the rest of the structure of those  
9 probably will go away very soon.

10 So it's a matter--I think it would be disruptive to  
11 really try and bring in new surveyors and not anything that I  
12 need to do.

13 So that's an area where we have gone through a  
14 process between REECo and Raytheon and really identify the  
15 number of what may seem to be trivial minor items of  
16 duplication, and we're working to say, give survey to REECo  
17 at a point--have Raytheon do the survey to say the point at  
18 the head of the tunnel and then turn over the survey from  
19 that point into what direction the tunnel boring machine goes  
20 to somebody else. But to really draw those lines so we're  
21 not duplicating survey.

22 So we're at a pretty low level in doing that, but  
23 it's certainly the intention.

24 DR. CORDING: Okay. Dennis Price?

25 DR. PRICE: You said you anticipated some hard times for

1 the next year. Could you expand a little bit why you  
2 anticipate hard times?

3 MR. NELSON: In the Nevada office, anytime--I mean, I  
4 went through the Rocky Flats years at a time when the program  
5 was canceled, and so at Nevada, you have several thousand  
6 workers without a major mission. There's a lot of things to  
7 do, but I mean even today in that article in the paper,  
8 they're talking about hundreds of layoffs. That's a hard  
9 time, and I think there will be more of that kind of thing  
10 unless a major program comes along.

11 And now the down side of that, and one of the  
12 things that we need to be very conscious of is that as the  
13 Yucca Mountain project becomes more of the project on the  
14 Nevada test site, there's certainly the potential of this  
15 project picking up more of the infrastructure cost, and we  
16 need to be very conscious of that and careful of that. And  
17 if, in fact, we have to pick up certain parts of the  
18 infrastructure cost, then we have to also be in charge of  
19 that and be able to do whatever--I mean, there's a \$2,500  
20 vehicle motor pool that a good part of is not being used.  
21 And yet there are costs, and our project are not using those  
22 vehicles very much.

23 So it's going to be hard from wherever we are, but  
24 there are a lot of challenges in that arena certainly through  
25 the next year.

1 DR. CORDING: Bob Matyas?

2 MR. MATYAS: Bob Matyas, consultant.

3 Mr. Nelson, early in your talk, you addressed your  
4 mission, and one of your goals was to address a cultural  
5 change in this organization. Have you given any thought to  
6 addressing the matter of sharpening the responsibilities for  
7 the various players and the attendant incentives, payment  
8 incentives if you will, for those people? Do you have the  
9 freedom to do that?

10 MR. NELSON: Well, the first part, I think yes. I think  
11 we're certainly--to me, the whole thrust of this is to  
12 sharpen the understanding of the responsibilities, et cetera.

13 Now, in terms of rewards for that, this is an award  
14 fee kind of contract with our major entities, and certainly I  
15 have a lot of latitude in changing that award fee structure  
16 around. One of the issues is whatever happens, we will have  
17 a separate award fee relationship for that technical support  
18 entity, whatever it winds up being called, and that will be  
19 totally my call.

20 There are part of the performer organizations, of  
21 course, that get us very much intertwined with headquarters,  
22 and so I don't have as much latitude in some of that, but  
23 some of it I'm uniquely responsible for.

24 So we have a lot of leverage in that regard.

25 MR. MATYAS: Thank you.

1 DR. CORDING: John Cantlon?

2 DR. CANTLON: Yeah, you may not choose to comment on  
3 this, and I certainly would honor your desire not to. But  
4 some of the difficulties that have been encountered among the  
5 contractors and so on is the end runs that they've been  
6 making with their Congressman.

7 Have you had candid discussions with upper  
8 management and some of the Congressional key leaders so that  
9 you can get a handle on that?

10 MR. NELSON: Yeah, let me comment on that because the  
11 answer is I've tried to stay as far away from most of that as  
12 possible. I had my days with Congressional staffers and a  
13 lot of hard times at Rocky Flats, and I really don't need to  
14 do that anymore.

15 Let me say it this way, because I think this is  
16 really a telling way: If the organizations involved are  
17 opposed to something we do or are trying to do, the measure  
18 of how bad they like it or how much they dislike it, however  
19 to look at that, is the activities of the lobbyist. And we  
20 do have awareness of lobbying entities do because we get  
21 phone calls from staffers about what is it this guy told me,  
22 or whatever.

23 I think this is going very well principally because  
24 the upper managements of our principal two contractors, TRW  
25 and SAIC, are working together. I think they recognize as

1 much as I that this is something we need to do, and the fact  
2 is I'm not aware of any lobbying efforts countered to that,  
3 and that's the measure of success to me. I'm getting no  
4 feedback that the traditional lobbying efforts are out to  
5 kill this thing some way or another, and that's what I was  
6 kind of was saying in the beginning when I said it's going  
7 much faster than I had even hoped for. I think the players  
8 involved have shown some real maturity.

9           I've dealt with some very high levels in both  
10 corporate structures to explain what I'm after and tried to  
11 put it in a non-threatening mode. I don't want to get rid of  
12 the people. This is a growth time for the program. I want  
13 to keep the talent and expertise and knowledge that we have,  
14 and our challenge is to find a way to do that. And I've had  
15 tremendous support from both contractor managements at very  
16 high levels.

17       DR. CANTLON: Thank you.

18       DR. CORDING: Dennis Price?

19       DR. PRICE: A couple days ago at the transportation  
20 coordination group meeting, I think I've got--the TCG anyway,  
21 right? They mentioned that the rail spur might be funded  
22 jointly by NTS and Yucca Mountain, that that was a  
23 possibility. And you just mentioned that Yucca Mountain  
24 might pick up some of the infrastructure costs involved at  
25 NTS. Is there an integration of NTS with Yucca Mountain in

1 the works here?

2 MR. NELSON: I don't think so. You know, that could  
3 change in an instant by people far above me in the pay grade,  
4 so, you know, nothing that I'm aware of is aiming at pulling  
5 those two together at this time. There's no real incentive  
6 from either side I don't think right now, other than perhaps  
7 someone could say, with the manager and the acting deputy  
8 leaving, NVO may be--you know, there's a reason.

9 But I don't think it's in Dan Dreyfus' best  
10 interest right now. Field offices in the DOE system get to  
11 be fairly autonomous, and this is a project that really can't  
12 be autonomous from the headquarters' project.

13 On the other hand, it could work. I mean, if that  
14 were a decision the department made, we could set it up in a  
15 manner that it would work. But right now, I don't think  
16 anybody's leaning in that direction.

17 I don't know what is said about the rail spur. I  
18 don't know of any interactions among NVO and our folks really  
19 in any substantive manner. I've been involved with thoughts  
20 of building a rail spur since the day I got here in '78 I'm  
21 aware that in the '60s and early '70s, there were plans for  
22 rail spurs to support the nuclear rocket program. So there's  
23 been an awful lot of history on that, and until something  
24 really gets cast in a role where somebody can deal with it, I  
25 kind of don't pay much attention to those things.

1 DR. CORDING: We need to move on. We have a schedule.  
2 It is relatively flexible, and we'd like to, I think,  
3 continue discussing some of these items further during the  
4 open sessions this morning as well. And one area that I  
5 think would be of interest to us would this be area of the  
6 procurement, particularly thinking at this point of the  
7 support for the boring machines, additional machines that  
8 might be required, for example, to do alcoves. And because  
9 much of the underground work, all of it leads--the critical  
10 path leads through the tunnel and much, I think, of the  
11 technical scientific work also is the same way, I think  
12 there's an interest here as to what can be done to  
13 efficiently acquire the resources needed to move the project  
14 forward.

15 So that's one issue that perhaps you might want to  
16 comment on this point.

17 MR. NELSON: Yeah, let me say one thing. Right now,  
18 probably the biggest decision in that arena that I see  
19 happening is a decision on the conveyor. I would like very  
20 much to have a conveyor as soon as I possibly can to be able  
21 to make the boring machine operational, what I would call  
22 operational.

23 We can buy one, we can lease one, we can get a new  
24 one, we can get a used one. We have all four, or whatever  
25 combinations available to us.

1           There are a lot of people who have history, some of  
2 it good, some of it bad, in one of those options or another,  
3 and then you overlay that with what we have to work into in a  
4 procurement system with some cultural, perhaps, history of  
5 how things are done.

6           I, frankly, think we have a lot of latitude in  
7 those decisions, and I don't think we need to really say that  
8 because it takes 60 days for this, or took 60 days for  
9 something, to do something or other, than the history, or 90  
10 days, or whatever, that that's the way we have to do it.

11           I think we have knowledgeable, more knowledgeable  
12 people in this business on our side than we've ever had  
13 before. I spent a good part of yesterday over at the Nevada  
14 field operations office talking with their acting assistant  
15 manager for administration to assure that, in fact, we had  
16 the right priorities for making things like the new or used  
17 decision in a contractual sense.

18           And Marshall Bishop, my assistant manager for  
19 administration, has done likewise to where we have some  
20 agreements for like a one-week turnaround on things like  
21 that.

22           So I think we're going to have a lot more latitude  
23 and a lot more ability to do what makes the most sense for  
24 us.

25           So, you know, that's one that's right at hand right

1 now and probably one of the most important procurement  
2 decisions as far as the future goes that we'll make. The  
3 boundaries of that are delivery of a--I mean, an operation of  
4 a conveyor system somewhere between February at the earliest  
5 and June at the latest, and I'm certainly aiming at February.  
6 So I may fail at that, but that's my goal.

7           So there's a lot of pressure in the system right  
8 now to be able to make those kind of procurement decisions in  
9 our best interest.

10       DR. CORDING: Okay. Thank you.

11           Let's go forward to the next presentation, then,  
12 and I think we'll be able in the discussion to come back to some  
13 of these other items.

14           Bill Simecka will be making the next presentation.  
15 He is the assistant manager, engineering and field  
16 operations.

17       MR. SIMECKA: Well, I just got introduced. I have  
18 fashioned an agenda after your questions, and I will go  
19 through those one at a time. But because the biggest event  
20 that we've got going on ESF right now is the assembly of the  
21 TBM, for those of you that have not been out there, I thought  
22 maybe I'd spend a few moments to discuss and show you some  
23 photographs of where we are.

24           This, of course, is an artist pictorial of our  
25 entire train of the TBM, starting, of course, the head end

1 over here, control area here. Right behind the grippers and  
2 so forth, we will be putting in the ground support, lunch  
3 room.

4           This is a long mapping platform that allows us to  
5 map the tunnel as we go without slowing down the TBM, and  
6 then the connection to the ventilation and the conveyor and  
7 so forth out the back.

8           Now, it's been mentioned that we are not going to  
9 be operating this TBM up to commercial standards. Let's  
10 examine that a little bit. This machine cuts the rock the  
11 same way, regardless of whether it's on this project or on a  
12 commercial project. And we have operators that are  
13 commercial operators. We hired Kiewit to do that, and  
14 they're going to push the buttons the same way and et cetera.  
15 So I don't understand this argument that we're not going to  
16 be operating up to commercial standards.

17           Well, what you're saying is that we delay for some  
18 reason, and when we have to delay because we cannot go beyond  
19 a certain point otherwise we will lose data, we will delay  
20 because that's why we're there, is to get scientific data.

21           Any other time, if there's no constraint, we ask  
22 that machine to go as fast as they can damn well do it.

23           So I don't believe this argument that we're not  
24 operating up to commercial standards. I'll show you some  
25 delays that we have to look at later that we're trying to

1 minimize, and we will have people that will be glad to  
2 consult with us, and we will have them on board, that can  
3 say, hey, you're not operating that machine as well as  
4 commercial standards would dictate. But I don't believe that  
5 will ever happen.

6           So this is a commercial machine. We've added some  
7 things to it. We've mitigated the chance of leaking fluids  
8 by putting pans and so forth under it so that we don't leak  
9 fluids into the soil. That's not a big deal really.

10           We've added this mapping platform to allow the  
11 scientific mapping to go on without slowing down the machine.  
12 Beyond that, it's about a commercial machine.

13           This is sort of the status of it. The name of the  
14 machine is an interesting story. Among the employees we ran  
15 a contest, and this was the--and we had an impartial group of  
16 people, no managers involved, and let them select the one.  
17 And they brought this forward as the best one.

18           Now, we had some people that don't like the sound  
19 of that too well, but on the other hand, Bob says, who's  
20 going to change the name "muck." So since we're not changing  
21 the "muck," let it stand. So that's the name of our machine.

22           I'm just going to run through some pictures. This  
23 is the control booth right here. This orange platform is  
24 where they'll do the rock bolting and so forth, right behind  
25 the grippers.

1           This is a picture on the top showing--this is the  
2 conveyor run, the ventilation connections and so forth. This  
3 is at the back of the machine, I believe; putting on some of  
4 the beams. I'll go through this pretty rapidly.

5           This is the control booth. This shows the grippers  
6 lying on the ground. They're about to be installed right  
7 now.

8           And that shows you that the progress is pretty good  
9 or essentially on schedule as far as the assembly is  
10 concerned, and we don't expect any difficulty. As you know,  
11 we assembled the machine up at CTS. They assembled it, so we  
12 know it does go together, and so we don't expect any  
13 difficulty.

14           The first item you showed interest in was the  
15 construction management. Before I get into that, I want you  
16 to understand that from my viewpoint, the construction  
17 management that we are going to have in the future is exactly  
18 what we envision when we first set it up. There's some  
19 clarification that we have gone through to make sure people  
20 understand what their roles and responsibilities are, but the  
21 basic approach that we started on construction management is  
22 holding.

23           And the issue had to be with what authority does  
24 the construction manager have over the constructor. And we  
25 expect the construction manager to give technical direction

1 to the constructor.

2           If the issue requires a contractual change, we  
3 involve the DOE in making the decision on that contractual  
4 change. Other than that, he has full technical direction  
5 authority over the constructor.

6           So here are the words that say what I just said,  
7 that the construction management organization has been  
8 modified, modified by clarification to be a more effective  
9 owner, constructor, construction management organization to  
10 improve those interactions.

11           And the roles of the primary participants have been  
12 more clearly defined in the CMO, has been empowered to  
13 operate more in the manner of a classic construction manager,  
14 except in that area where construction--I mean, the contract  
15 has to be modified. But on the other hand, the CMO should  
16 not, and we'll ask them not to shy away from if a contractual  
17 change is required, that they bring it forward right away,  
18 and then the DOE will get in there with them to make that  
19 contractual change, if indeed it is desirable.

20           Here's just a list that DOE, as the owner, we have  
21 these following functions. Here are the requirements that we  
22 still have as an owner. Here's the construction manager's  
23 roles, and here's the constructor, which is REECO supported  
24 by its subcontractor, the Kiewit/Parsens-Brinkerhoff  
25 organization, and here are their roles. These are, as I

1 know, classic roles for those three entities.

2           The current status of that activity is that we  
3 reinforce that the M & O should assume the full  
4 responsibility for the technical direction of the  
5 construction on April the 15th. They started to add  
6 additional personnel. The construction management plan was  
7 revised with some work changes, and the administrative areas,  
8 that is the scheduling, cost tracking, cost estimating and so  
9 forth, will phase in the April 30 - July 1 period as soon as  
10 personnel come on board. They will be doing cost estimating  
11 of all the constructor activities and to provide the DOE with  
12 an independent look of whether what the constructor is saying  
13 is reasonable, based on the experience of the CMO office.

14           Next subject is ESF design review schedule. This  
15 is pretty standard. I'll just flip through this. I think  
16 you're all aware of most of these.

17           The north portal surface facility, Package 1D, June  
18 20th is the 90 per cent review.

19           Package 2C, the north ramp, we had the 90 per cent  
20 review May the 2nd, and we expect to release that for  
21 construction around August the 1st.

22           We have Package 8A, which is the main Topopah  
23 Springs level drifting. The schedule for those reviews are  
24 50 per cent September the 26th of this year, and then 90 per  
25 cent in February.

1           The 8B, that is the north ramp extension, February  
2 the 1st next year, and 90 per cent review in July.

3           Package 3A and 4 are, of course, subject to the  
4 amount of funding we get in the next year, and the south  
5 portal pad and access road, Package 3A of course, will be  
6 February the 1st for the 50 per cent, July the 1st next year  
7 for the 90 per cent.

8           Package 4, south ramp, surface to Topopah Springs  
9 should be reversed, TSL up to the surface, those dates.

10           We have some other near-term ESF design activities.  
11 Working on the integrated data control system. The 50 per  
12 cent review happened June the 7th. Alcove design, that is  
13 the north ramp test alcoves, the Ghost Dance drifts and the  
14 heater test drifts, 50 per cent review is planned for next  
15 August.

16           We are also doing a mechanical excavation methods  
17 study where we are looking at all the different mechanical  
18 excavators that are available for alcoves, heater drifts, et  
19 cetera, et cetera, and we are--that includes some drill and  
20 blast approaches. Hopefully, by the end of this fiscal year,  
21 we'll be able to decide whether we're going to buy some  
22 additional micro machines or mini machines or whatever, but  
23 we don't want to ignore some of the techniques that are  
24 being--or some of the machines that are being made available.

25           And, of course, the Calico Hills access alternative

1 study, we will do that in earnest early next fiscal year.  
2 Dick Bullock presented yesterday one of the alternatives.  
3 We're going to be looking at others to make sure that when we  
4 go into Calico Hills, it is the preferred way.

5           As far as the schedule for the north ramp  
6 construction, the TBM operations are expected to begin August  
7 the 8th. We think we can meet that still.

8           The initial operations we characterize as start-up  
9 testing phase. This is where we've put the machine up  
10 against the face. We've put it under load. You cannot  
11 determine whether the machine is going to operate properly  
12 until you put it under load. So that's the start-up testing  
13 phase.

14           There will be a shakedown phase where you start to  
15 operate at a greater number of shifts and so forth, really a  
16 production run, if you will, and that will go on until we get  
17 the conveyor and the mapping platform. And I want to point  
18 out that we've heard criticism about not having the conveyor.  
19 We never did intend to use a conveyor for the first 450 feet  
20 because you can't get the conveyor in there. We have to  
21 always muck that with muck cars until we sink the whole  
22 machine, before we can put the conveyor system on. So our  
23 initial phase was always using muck cars.

24           So, as Bob pointed out, we are going to urgently  
25 try to get the conveyor on board, and when we do, then we

1 will declare that the operational phase.

2           But during this first phase of the start-up testing  
3 and the shakedown phase, the advance rate will be low.  
4 Obviously, we will be training the crew to operate this thing  
5 in a more effective manner, each day getting better  
6 hopefully. We've got to test all of the various systems, fix  
7 whatever has to be fixed if we do. We also, in the early  
8 phases, we will encounter the Bow Ridge Fault at 190 meters,  
9 and as you know, the Rainier Mesa material behind the Bow  
10 Ridge, there's quite a few feet of that. There's, let's see,  
11 80 meters of it, and there has been concern that that  
12 material would slow us down.

13           What we've seen so far, the constructor is fairly  
14 pleased with the fact that this material, while it's friable,  
15 does stand up. We did a lot of trenching of deep trenches,  
16 and they have stood up significantly. So we don't expect  
17 that to be a problem, but we have the contingency to handle  
18 it, if indeed there are some short or some small pockets of  
19 running material. We don't expect to find it, but if we do,  
20 we have ways to work ourselves through it. We will be using  
21 steel lagging all the way through that because of that  
22 material.

23           Rail haulage until the conveyor installation. Mid-  
24 '95, that's the latest. We're trying to move that ahead to  
25 February. We hope to complete the north ramp early in '96.

1           Now, the Rainier Mesa material is in this area  
2 here, and I just included those in your package because I  
3 thought maybe you'd want to look through that. I don't  
4 intend to go through that unless there are some questions.

5           The last topic is the strategy of ESF within the  
6 proposed program approach. That is Scenario A. As we see it  
7 now, this is sort of a situation with exploratory studies  
8 facility. There's a lot of flexibility on the dates that it  
9 will take to get through that complete loop, and I'll try to  
10 walk you through that, get you to understand that we will be  
11 making real time decisions that could affect that. But  
12 basically, we are going to try to get through that and get  
13 all of those, the north ramp extension and so forth, at the  
14 most efficient rate that we can.

15           The other thing I want to point out, that we have  
16 moved the MTL over to the north--off the north ramp  
17 extension. We intend to put a few drifts around there, that  
18 north ramp extension, to get those heater tests started  
19 early.

20           And you can see that we can complete the north ramp  
21 early, fiscal '96. And for this whole loop, we have 508 days  
22 of operation, but there's some adders. There's two turnouts;  
23 one for the north ramp extension, one for the Calico Hills.  
24 There's one--we may not go down to the Calico Hills in the  
25 north ramp, so we could eliminate one of the turnouts.

1           Switchgear niches; we have, I believe, while we  
2 designed niches to sink the switch gear into the wall so we  
3 can get a walkway, we've decided not to implement that, and  
4 we're probably going to put that switchgear, the transformers  
5 and so forth, just onto the wall, and maybe defer the  
6 walkways until later.

7           As a matter of fact, the approach we're taking is--  
8 and I know people have been kind of critical that the design  
9 seems to be a Cadillac design. Well, the approach we've  
10 taken is we've designed all of those features in there, but  
11 we have the choice of whether we implement them. But we at  
12 least know that if you have to go back later and put in those  
13 features, you've allowed a place for it.

14           So I think what we'll be doing, and it will be a  
15 decision that we make as we go along, that if we see no  
16 reason to sink the switchgear niches for the exploratory  
17 studies facility, or make the walkway, we'll leave those out.  
18 Later on when we design a repository, if we get that far,  
19 they can sink these things in there if they want, make it  
20 more of a permanent situation.

21           Six alcoves. It will take us some time to install  
22 the conveyor once we get the conveyor on board. There are a  
23 number of sumps and refuge, and then there's a program  
24 delay. I look at that as contingency. You know, we don't  
25 know whether there's going to be a program delay, but if

1 there is, we've allowed a little bit for it.

2           The excavation sequence, we will complete the north  
3 ramp with TBM #1 and Alcove 1, which is existing, and 2, 3, 4  
4 and 5 concurrent with the TBM operations. That's what we're  
5 hoping to do.

6           We will acquire a second TBM, lease or buy, new or  
7 used, TBM #2, during next fiscal year.

8           We'll begin the excavation of the north ramp  
9 extension with the TBM 2 just as soon as the bigger machine  
10 gets around the north ramp bend and has done a stub for us.  
11 We will hopefully have the smaller machine, TBM #2, ready to  
12 start the north ramp extension, which means we have two  
13 headings simultaneously. And the purpose of that, of course,  
14 is to try to get the heater test started as soon as possible.

15           Then what we will do on the excavation of the north  
16 ramp extension, we have a lot of flexibility, but we'll  
17 probably run that north ramp extension machine, probably a  
18 three-shift operation because we want to get down there as  
19 fast as possible.

20           As soon as we pass the area where we're going to  
21 put the side drifts for the heater test, we could, if money  
22 was a problem, we could slow that down to a single shift and  
23 put our money elsewhere because that 18-footer could be used  
24 to go up to Solitario.

25           On the other hand, if we need that for Calico

1 Hills, it will go on until it gets to the end. We'll  
2 dismantle it, take it to the Calico Hills.

3           But TBM 1 proceeds with the main drift excavation  
4 in parallel with the north ramp extension, and the reason for  
5 that, we'll probably operate that money allowing as fast as  
6 we can because we want to get to Ghost Dance as soon as  
7 possible, because that's a key to our Calico Hills decision.

8           After we've made the Calico Hills decision and did  
9 the Ghost Dance drifts, we could slow that one down and let  
10 it go ahead and finish out the loop. There's no urgency for  
11 it--to finish it very rapidly.

12           So you can see we have a lot of flexibility. I've  
13 just said this one. I think I've talked about all of that.

14           That's all I have. Any questions?

15       DR. CORDING: Okay. Thank you.

16           On the schedule on the heater test drifting, what  
17 date would that be completed, then, or the schedule, the  
18 present schedule?

19       MR. SIMECKA: I can't answer that one. See, there will  
20 be four--right now we're thinking of four heater drifts off  
21 the north ramp.

22       DR. CORDING: And that would be done with the same  
23 machine backing and--

24       MR. SIMECKA: No, those will be smaller drifts.

25       DR. CORDING: Oh, I see.

1 MR. SIMECKA: Could be smaller drifts

2 DR. CORDING: Good.

3 MR. SIMECKA: If we had our mini machine or the micro  
4 machine, we may use that. If we can't get one of those on  
5 board for whatever reason, we'd do drill and blast if we had  
6 to.

7 DR. CORDING: It sounds like it's going to be--by the  
8 time that's completed, it's going to be close to 2000 or  
9 something. Is that--

10 MR. SIMECKA: No. Can you help me, Dan?

11 MR. MCKENZIE: Yeah, Dan McKenzie. We would certainly  
12 want to be getting the drifting done off of the north ramp  
13 extension that would house those heater tests probably in  
14 fiscal '97. That's the whole point of driving that one in  
15 parallel with the main drift so that we can get something  
16 started down there as soon as possible.

17 DR. CORDING: Well, that would be the completion of  
18 those or the start of those?

19 MR. MCKENZIE: Being kind of wishy-washy. We could  
20 start them, I would hope, in fiscal '97. I wouldn't want to  
21 speculate because we don't even know what they look like or  
22 how long they are yet. The heater test has to be better  
23 quantified.

24 DR. CORDING: Yeah, I mean, you may have several  
25 thousand feet of it certainly to deal with.

1 MR. MCKENZIE: Conceivable, right

2 DR. CORDING: Yes, Lee Renegar?

3 MR. RENEGAR: I'm Lee Renegar.

4 What's been talked about, I've talked to Ned Elkins  
5 about it some, and the initial idea is that they'll be as  
6 short as possible. We've talked in terms of a couple  
7 hundred, say 400 feet. Talked in terms of two pairs of  
8 drifts to do the testing out of.

9 So it's possible that they could be finished in  
10 '97. You're not talking about real long term excavation  
11 sequence.

12 DR. CORDING: And possibly using something like a two  
13 meter machine or--

14 MR. RENEGAR: We're talking about possibly a two meter  
15 machine, and then we've looked at equipment that will fit  
16 through that and then drill and blast at the end to slash it  
17 out and do the drifting out of--or do the drilling out of,  
18 excuse me.

19 This is all preliminary. We're just looking at  
20 this and trying to fit the machinery together and trying to  
21 fit the schedule accelerated as much as possible. So it's  
22 very preliminary.

23 DR. CORDING: Jack Lemley?

24 MR. LEMLEY: If you could go back to this viewgraph for  
25 a minute, please?

1           The question that I had--Jack Lemley, consultant.  
2 The question I had starting with the values listed below the  
3 508, the 36, 140, 47, 26 and 20, why are those additive to  
4 the duration? I certainly agree the 85 is probably  
5 worthwhile as a contingency, but that work could all be done  
6 concurrent with the TBM continuing to operate. So why is  
7 that?

8           MR. SIMECKA: Well, because you have to get off of the  
9 main tunnel to provide a niche, and if you're going to use  
10 drill and blast, you can't operate drill and blast while  
11 doing drill and blast behind the TBM.

12          MR. LEMLEY: I think if you challenge your contractor,  
13 you'll find they can. We built 450 rooms off of the Channel  
14 Tunnel while we operated 11 tunnel boring machines and a  
15 double track railway to support it all. I just don't accept  
16 that you can't build those and have to ship the TBM.

17          MR. SIMECKA: Well, we're looking at that now, but the  
18 first few feet, we believe that you probably will not be able  
19 to operate the TBM.

20          MR. LEMLEY: Well, I have done it.

21          MR. SIMECKA: Well, it's a safety issue, so we will be  
22 looking at it. If it's safe, we'll do it. But right now, we  
23 don't believe it is. And as a matter of fact, how quickly  
24 you can get off of the tunnel sufficiently far so you can  
25 resume the operation will be looked at. The TBM will--when

1 there's maintenance down time and everything, is the time to  
2 do those sort of things to offset the delays, minimize the  
3 delays. We'll be doing that. But we aren't going to  
4 potentially do anything that we don't have to do.

5           Any other questions?

6       DR. CORDING: Yes. Dennis Price?

7       DR. PRICE: What is the relationship between your state  
8 of information about gaseous pathways and plans to drill and  
9 blast?

10       MR. SIMECKA: Dennis, can you answer that?

11       MR. WILLIAMS: Dennis Williams here, DOE. I don't think  
12 I understand the question on relationship between drill and  
13 blast, pneumatic pathways.

14       DR. PRICE: Gaseous pathways.

15       MR. WILLIAMS: Do you mean the relationship between just  
16 the total excavation and the pneumatic pathways issues or--

17       DR. PRICE: And creation of, yeah.

18       MR. WILLIAMS: Oh, the creation of pneumatic pathways  
19 with the drill and blast effort?

20           Maybe I'll call on Bob Craig, U.S. Geological  
21 Survey, our technical folks.

22       MR. CRAIG: I'm not real certain if that was a fair punt  
23 to me or not, and I guess I'm not much clearer than Dennis  
24 was on where we're going.

25           Do we anticipate the drill and blast operations in

1 the alcoves and such will open up things, we won't get a  
2 representative set of data? I guess maybe that's the  
3 question.

4           The answer is not based on what we've seen  
5 previously in G-Tunnel. If you look at our testing plans,  
6 you know, one thing we're trying to do is one, get away from  
7 the effects of the TBM operation in the main drift itself, or  
8 the ramp, away from that 25-foot opening. But if we've still  
9 got, obviously, the alcove opening, but our drill holes are  
10 designed such--you know, they're typically on the order of 30  
11 meters in length, which we feel is far enough to get away  
12 from the effects of the drill and blast operation. We've  
13 looked at some hydrochemistry impacts from the explosives in  
14 the first alcove, trying to minimize those.

15           I guess at this point, in going back to your  
16 question relative to gaseous pathways, near to the alcove,  
17 certainly it's going to induce some effect. But we think  
18 we're far enough way from the effects of the excavation in  
19 our planning. We'll continue to look at that as we test, but  
20 right now, we're relatively comfortable with it, I believe.

21       DR. CORDING: Garry Brewer? Oh, I'm sorry.

22           Tony Ivan Smith?

23       MR. IVAN SMITH: Yes, Tony Ivan Smith.

24           You made a comment. Mr. Simecka made a comment  
25 relative to the classic role of the contractor manager

1 engineer, and I would find that this role here is somewhat  
2 unique.

3           In his definition, Mr. Nelson has said in changing  
4 the hierarchy in some other components, REECo sits kind of  
5 anonymously in this situation here. Do the employees  
6 employed in the tunnel actually work for Kiewit or actually  
7 for REECo? What is this--for the definition of this REECo  
8 supported by Kiewit as constructor? We do know that the  
9 tunnel boring machine was purchased through REECo with this--  
10 I understand a large G & A cost to it, and all equipment  
11 being purchased by REECo will also have this G & A. So this  
12 is the two questions I have.

13       DR. CORDING: Well, Bill had an emergency, so he just  
14 left.

15       MR. IVAN SMITH: Yeah.

16       DR. CORDING: Maybe Dan--Dan, could you answer that--  
17 McKenzie, or is that the proper--

18       MR. IVAN SMITH: Well, we could reserve the question  
19 until later on.

20       MR. CARLSON: I'm Dan Carlson with REECo. Of course,  
21 Kiewit is our subcontractor, and they will be handling all  
22 the underground operations, full responsibility for TBM  
23 operations, and it will be Kiewit personnel operating the  
24 TBM.

25       MR. IVAN SMITH: And all purchasing will be done

1 through--by Kiewit will be done through REECo?

2 MR. CARLSON: It depends. On the major capital  
3 equipment procurements, REECo will be doing that. Some of  
4 the smaller stuff, Kiewit will be procuring materials.

5 MR. IVAN SMITH: Thank you

6 MR. MCFARLAND: Would you clarify that? REECo is the  
7 DOE procurement, provides procurement services for the DOE?

8 MR. CARLSON: As for all major procurement activities.

9 MR. MCFARLAND: Now, how will you make a distinction,  
10 then, between what the construction contractor buys and what  
11 REECo buys?

12 MR. CARLSON: Well, in the case of--let's start out with  
13 the big one, like a tunnel boring machine. If we're talking  
14 a second TBM or a mini bore, REECo would be doing the  
15 procurement.

16 Materials I think supplemental to the tunnel  
17 itself, the ground support equipment in the tunnel in support  
18 of the tunnel operations, Kiewit will be doing some of the  
19 procurements.

20 MR. MCFARLAND: When Kiewit purchases equipment, is that  
21 purchase as a private contractor obtaining materials from  
22 commercial markets, or is it as an agent of the government,  
23 as REECo is?

24 MR. CARLSON: Yeah, they're actually in our behalf.

25 MR. MCFARLAND: Then they will have to function by

1 government procurement regulations?

2 MR. CARLSON: That's correct.

3 MR. MCFARLAND: They can't bring equipment to bear on  
4 the job, that is through Peter Kiewit?

5 MR. CARLSON: They could if, you know, the need is  
6 justified.

7 DR. CORDING: Dan, the start-up phase here, shakedown  
8 phase, is prior to insertion of a conveyor, is something on  
9 the order of 7 to 10 or 11 months. And from what I've seen  
10 in the tunnel boring projects, the shakedown phase is usually  
11 where you see slow progress in one shift operations. It's  
12 usually in the order of a month or two.

13 And the opportunity to make significant progress  
14 and to have a long enough line to justify the conveyor belt  
15 could be--would seem to me to be much earlier than seven to  
16 ten months. And so I'm wondering if, is there some way that  
17 this first run on this could be done in a more rapid approach  
18 or more of a full mobilized approach? It seems to me that  
19 there's a long time here when you're not mobilized and not  
20 able to operate the machine to the capabilities it has. And  
21 I'm not talking about delays for science, I'm talking about  
22 delays because of procurement.

23 MR. CARLSON: You're absolutely right. There's probably  
24 two things here. One is the--we initially had a funding  
25 program in getting the procurement started for the subsurface

1 and the surface conveyor systems, and another, which you  
2 alluded to, the words "shakedown," which have some political  
3 implications, which I don't think I want to address.

4 MR. CORDING: We're talking about--you know, we're  
5 talking about six more months on a schedule that is--you  
6 know, I mean we're working on deadlines that are of site  
7 decisions, and, you know, to me, this is an extremely  
8 important issue, and the Board is going to be asked in a few  
9 years to say that we agree that the site is suitable or that  
10 the work has been done.

11 And I just think that we've got to be very careful  
12 about making sure that we are making reasonable progress with  
13 the resources that we have.

14 MR. NELSON: Could I make a comment?

15 DR. CORDING: Please.

16 MR. NELSON: I'm Bob Nelson. I think we have a lot of  
17 latitude we haven't explored in the procurement process, and  
18 I noticed as a couple of the comments were being made, my AMA  
19 right down the line there, Marshall--stand up a minute--was  
20 shaking his head no. So I guess I'm not convinced we've  
21 explored all of our options there. I can't say they're  
22 wrong, but I think we have, we the DOE, have a lot of  
23 latitude. Certainly, I think there's a benefit to us in  
24 having a centralized procurement, rather than have multiple  
25 contractors doing things in different ways. But on the other

1 hand, I think we have latitude to do what makes sense, and I  
2 also think we have ways to cut the time. And that's, as I  
3 mentioned in my comments, that's something we're, Marshall in  
4 particular, is exploring, and hopefully we'll be able to make  
5 some changes.

6 DR. CORDING: I think some of this is, in terms of  
7 having the things to support the operation and make it  
8 efficient is some of what I think has been what I've  
9 interpreted that our consultants are saying that we aren't  
10 meeting the standards of the industry. It's not that there  
11 isn't good equipment on the job and good people on the job  
12 and capable organizations, it's that I think that they're  
13 being hamstrung by not being able to do the things that  
14 they're capable of because of some of these constraints that  
15 I know that are tough issues that you're trying to deal with.

16 MR. SIMECKA: Could I make a comment there?

17 DR. CORDING: Please.

18 MR. SIMECKA: We are not putting artificial constraints  
19 on our people to work as fast as they can, et cetera. There  
20 are a lot of problems that take time because we have to go  
21 through certain procurement regulations, et cetera to make  
22 sure we do these things. There are DOE orders that we have  
23 to respond to, et cetera, that you normally may not have to  
24 do on a commercial job.

25 And all I can say is we're not holding up these

1 people from moving as fast as they can. We make decisions as  
2 quickly as humanly possible. We don't have to wait for  
3 decisions from headquarters on a number of these things.

4           So I think that what you see as a potential  
5 schedule is worst case. We're going to beat that a number of  
6 ways. We intend to do that, and the real test is after we've  
7 operated a little bit, we will have consultants come in. I  
8 intend to have consultants that will talk to the DOE and  
9 advise us whether we can make things go faster in one area or  
10 another.

11           And so I think if you give us a chance, we'll show  
12 you. But the attitude is not to do this business as usual,  
13 so to speak, because we understand that the cash flow that we  
14 have here is high, and if we delay for unnecessary reasons,  
15 it costs us money. And that's not--DOE cannot do that.

16       DR. CORDING: You know, the thing that--we'll be  
17 interested in seeing what's happening once the TBM is  
18 operating and is going, but the decisions have to be made  
19 now. To be efficient with these operations and to integrate  
20 all the things that have to be done in this facility, it's  
21 got to be done now.

22           And, you know, they're already beyond the time when  
23 a contractor would, you know, coming on a job, the first  
24 thing he does is make sure he can get his equipment in there,  
25 you know, as soon as he can give his portal developed,

1 equipments ready to go. And so that's part of, I think, what  
2 this--it just seems to me these decisions are the things that  
3 take away from doing the scientific work that needs to be  
4 done on the project. And that's where it is, in addition to  
5 this cash flow issue.

6           So I'm pleased that you're looking at this, and I  
7 think it's an extremely important issue. I think this is  
8 about the last chance we're going to have to really have an  
9 impact on it in the project because it really seems to me  
10 it's got to be done now.

11       MR. SIMECKA: Yeah, absolutely. We understand the  
12 urgency.

13       DR. CORDING: Thanks. Any other questions on--I've been  
14 talking and not listening, doing my job as a moderator here.

15       DR. BARNARD: Bill Barnard, Board staff.

16           Bill, do you have any comments on a geoengineering  
17 board?

18       MR. SIMECKA: I'm getting together some names right now.  
19 As I said, as owner, DOE owner, we ought to have a board  
20 that can advise us as to whether all the contractors and so  
21 forth are doing things that maybe they're not aware of, or  
22 whatever, that we can do better. So I intend to put together  
23 one that is advisory to the DOE.

24       DR. BARNARD: Do you have any schedule for that?

25       MR. SIMECKA: ASAP, so to speak, but I don't know how

1 long it's going to take me to put it together with all the  
2 paperwork and everything. The M & O is right now getting all  
3 of the paperwork in place for a number of people that we can  
4 call on, and I'll just have to look through those to decide  
5 which ones I think are most efficient.

6 I don't intend to have more than three or four  
7 people. We may call in other people from time to time when  
8 we need expertise, but in general, I think you have about  
9 three good people, and I'm willing to take advice on that  
10 from people who know more about these kind of consultant  
11 boards. But I intend to do that.

12 DR. CORDING: Tony?

13 MR. IVAN SMITH: Yes, Tony Ivan Smith.

14 Yesterday there was a comment made about the  
15 conveying system, which I want to address.

16 The tunnel boring machine requires a mucking system  
17 or conveying system, and in the case of the English Channel,  
18 we selected a rail-mounted system. Here you selected a  
19 conveying system? We brought it up in a meeting here in this  
20 room here, a year and a half ago  
21 November.

22 It seems to me the importance of the TBM and its  
23 conveying or mucking system is rather like an aircraft  
24 carrier with its airplanes. To delay the project up until  
25 this following summer, to actually be able to complete the

1 installation of the conveyor belt relative to the schedule  
2 might have a much higher cost in delay than a--for example,  
3 for PDQ to be authorized to lease, purchase as a part of  
4 their contract immediately.

5           I think this has become a level of criticality, and  
6 this is the comparison we have between the commercial  
7 practice and the so-called scientific program. There seems  
8 to be a wall that needs to be resolved a little bit later in  
9 the discussion, and I think these decisions are very  
10 imperative.

11           Well, anyhow, yesterday it was mentioned that one  
12 of the concerns was the segregation of material for future  
13 utilization of the project. Well, this is a decision to be  
14 made multi years from now, and the cost of that, let's say a  
15 million or two million dollars just to be able to segregate  
16 the material on the surface, is minimal, but it has a maximum  
17 cost on the project today.

18           So I feel that maybe in this conveying decision, to  
19 utilize it for a dual purpose is going to be an extremely  
20 negative factor for you.

21           MR. SIMECKA: Can I have some help on that one? The  
22 requirement to segregate is not mine, so I don't know who--do  
23 we have anybody that can address that?

24           Thank you, Dan.

25           MR. MCKENZIE: I can't say that it's my requirement

1 either, and it's more of a performance assessment type of  
2 concern to segregate the welded tuffs from the bedded tuffs,  
3 for whatever reason. It has to do with decommission, and  
4 you're right, it's something that happens a long time from  
5 now.

6           But that is being worked, and it's not a done deal  
7 that we're going to do that, at least in my knowledge of the  
8 project.

9           MR. IVAN SMITH: But it has the most negative effect on  
10 the project right now, anything that I can see. It totally  
11 constrains the performance of the machine. A tunnel boring  
12 machine typically operates, let's say national average 41 to  
13 51 per cent of the day. And so now this machine is being  
14 restrained for a year to an adoptive technique of mucking.  
15 It will not be able to go through a full cycle. And so what  
16 you're doing is reducing that, I'll just say 41 to 45 per  
17 cent down to 20 per cent, which is why we're making these  
18 comparisons to commercial practice.

19          MR. MCKENZIE: I don't think there's a direct  
20 comparison. Maybe either I'm confused or maybe you are.  
21 There's no impact. I don't think whether we're running on a  
22 conveyor or running with muck cars has anything to do with  
23 the muck segregation.

24          MR. IVAN SMITH: Oh, no, no. But the decision to make  
25 muck segregation now has a greater effect on the performance

1 of the machine. It's the greatest driver, and it should be  
2 ignored at this time.

3 MR. SAUNDERS: I can add a few words. I'm Bob Saunders  
4 with the subsurface design.

5 The decision to separate the muck, welded and  
6 unwelded, came about from a letter that Sandia wrote to us,  
7 and we investigated that. Our conclusion was, basically  
8 there was no point in separating welded and unwelded tuff.  
9 We thought we'd put that one to bed.

10 However, they came back at us recently and asked us  
11 if it was possible to separate some of the unwelded tuff.  
12 And the only place that we're going to see any amount of  
13 unwelded tuff is in the upper part of the ramp where we would  
14 be mucking with--or removing muck with rail cars, or the  
15 conveyor won't be installed in that point. And that's in the  
16 Bow Ridge Fault area.

17 Beyond that, that is just too complicated a process  
18 to try and separate it. However, they have asked us to see  
19 if we can separate Calico Hills from the rest of the  
20 material, and we're saying we're looking at it.

21 Now, since then, there have been other  
22 developments, one of which is a concern from performance  
23 assessment. The material, if it's going to sit out on a muck  
24 pile for 100 years, is likely to be so contaminated with  
25 organic materials, is to be unfit for backfill. So that's

1 another issue that's being looked at at this point.

2 DR. CORDING: Thank you.

3 All right. I think at this point I'd suggest,  
4 perhaps, we'd take the break ahead of Dean Stucker's  
5 presentation. Let's do that for the 15 minutes here, and  
6 we'll get back to the session at 10 o'clock.

7 (Whereupon, a recess was taken.)

8 DR. CORDING: We're ready to begin. Let's begin our  
9 session now.

10 Our next presentation is by Dean Stucker, and Dean  
11 is lead project engineer of the repository/waste package/MPC,  
12 and we're looking forward to his presentation on focused ACD  
13 strategy.

14 MR. STUCKER: All right. Well, thank you. I guess we  
15 saved the best for last here this morning.

16 I hope to discuss with you this morning some things  
17 related to our ACD process. I wanted to talk a little bit  
18 about our strategy, talk a little bit about the requirement  
19 documents that are related to our advanced conceptual design  
20 efforts, and the key assumptions which are tied in with the  
21 strategy and the requirements documents hierarchy, and then  
22 separate a little bit and talk to you about what our  
23 management strategy is related to the thermal loading, and  
24 then talk a little bit about the ACD schedule and what our  
25 summary report is looking like, what the initial content is

1 going to be.

2           I've talked to you in the past about our strategy,  
3 and I put together this cartoon to depict it a little  
4 differently. Because of the MPC decision and the baseline  
5 changes that the Department of Energy made early this year,  
6 we've been able to take a strategy that focuses the  
7 repository waste package efforts even further, and that  
8 strategy is kind of contained in this viewgraph.

9           We've got a requirements hierarchy that we  
10 baseline, and within that requirements hierarchy, there's a  
11 lot of, let me say uncertainty. There's a lot of to be  
12 determined, to be verified, or to be resolved, items related  
13 to 10 CFR 60 and other requirements.

14           Our strategy is to, as I mentioned before, is to  
15 make some good judgments, some basic assumptions related to  
16 those items and control them in a document we call our  
17 control design assumption document. Along with the  
18 requirements, we want to make some assumptions related to the  
19 concept of operations for the repository, potential  
20 repository, Yucca Mountain, and the waste package, and we  
21 will develop those through a functional analysis and list  
22 those in the control design assumption document.

23           And then there's some site data that we have not  
24 yet generated through the site characterization efforts that  
25 we'll make some basic assumptions on and also control those

1 in the CDA document.

2           And how all this thing works is this part right  
3 here, the substantiation, separate from getting people  
4 together and assuring that we're making the best judgment at  
5 this point in time, we want to take each one of these  
6 assumptions, develop some plans and then substantiate those,  
7 whether they be in the scientific design basis area or just  
8 in good cost trade-off or health safety benefits, go back and  
9 substantiate that, indeed, those assumptions were the correct  
10 assumption to make, and once they have been substantiated,  
11 feed them back in and make the baseline changes to our  
12 requirements document or back to our RIB as we substantiate  
13 those.

14           If during this process we find out that that  
15 assumption is wrong or needs to be changed, we'll come back,  
16 make a quick change to the control design assumption  
17 document, look back into our architecture, our design effort,  
18 and see what impacts and changes that requires.

19           Now, along with this control design assumption  
20 document, the DOE team that is responsible for the  
21 development of this process felt that there are some key  
22 assumptions, there are some key elements, either in the  
23 requirements or in concept of operations and possibly in the  
24 site data that are important enough to pull out and control  
25 at a higher level, or to assure that you don't change those

1 key assumptions unless this administrative panel within DOE  
2 is aware of it and basically gives it blessing to say, yeah,  
3 go ahead and change that key assumption.

4           So there are a certain set, a small set that we've  
5 pulled out and we've elevated to the next level. And that's  
6 kind of highlighted in our document requirements hierarchy.

7           This is our technical baseline where we control  
8 through the QA process all our requirements. And for us in  
9 the disposed waste here at Yucca Mountain, we're guided by  
10 the MGDS requirements document at the program level, which is  
11 highlighted here. This is the program level. This is the  
12 project level. These are the documents that we develop that  
13 tie back into the program documents, and then this is the AE  
14 level, the M & O level, and this is where currently we're  
15 carrying the control design assumption document.

16           And these items are assumptions that we feel are  
17 important, the key assumptions. What we're saying is we're  
18 pulling those back up and saying, gee, the project wants to  
19 have some say in changing those.

20           And this morning I want to review with you where we  
21 are with those key assumptions because that is a major driver  
22 to the advanced conception design as we go forward.

23           We divided the key assumptions into two categories  
24 or two groups. Group 1 were assumptions that we felt  
25 affected other project elements or program elements and were

1 important enough, again, to raise to a higher level, but we  
2 felt that these assumptions, through whatever decisions or  
3 processes had gone on in the past, were already made. We  
4 felt that we were already here for whatever reason, whatever  
5 rationale, and that we wanted to just identify these, assure  
6 that we had made the right assumption along the way and list  
7 them separately.

8           And I'll go through these very rapidly over here  
9 and just talk about them. In Group 2, then, we'll talk a  
10 little more detail, which are the ones that we felt we needed  
11 to bring some specialists together, and I'll get into that in  
12 a moment.

13           For the first one, tunnel excavation method, we  
14 felt the assumption definitely has already been made, that  
15 we're going to excavate mechanical, and that where it's  
16 impractical to use mechanical methods, drill and blast may be  
17 used. I think that fell out of the ESF alternative study  
18 several years ago.

19           Rod consolidation. Although currently in our  
20 technical document hierarchy, back here we're currently  
21 carrying that we will consolidate at the repository. We need  
22 to change that, we're in the process of changing that right  
23 now, in the fact that we won't consolidate at a potential  
24 repository site, and that we will remove it from the  
25 technical baseline.

1           Emplacement mode. Because of the MPC decision and  
2 where we are right now in our process, we're assuming the  
3 waste package will be emplaced in-drift in a horizontal mode.

4           And I caution people just to realize that, again,  
5 these are our first shot, these are our first--our best  
6 judgment at this point in time of what these assumptions  
7 should be, and as our process continues on through ACD, we  
8 may very well change these assumptions and look at what the  
9 impacts are and adjust from there.

10           Underground transportation. Because of the MPC  
11 decision, the large waste packages, we're looking at an  
12 integrated rail transport for the subsurface, and rail will  
13 be used for transporting supplies and personnel to the extent  
14 practical underground.

15           For criticality, and I could spend a lot of time on  
16 this one, I'll just say that we're going forward assuming  
17 that to some degree we'll receive burn-up credit, and that  
18 will be the major emphasis for our criticality concerns. We  
19 are looking for alternatives also, but that's our primary  
20 assumption at this point.

21           Waste package shielding, we're looking at the  
22 containment barriers will provide sufficient shielding for  
23 protection of materials from radiation enhanced corrosion,  
24 additional shielding for personnel protection provided on a  
25 transporter and in surface facilities. So we're going to

1 provide some additional shielding in the transporter to get  
2 the waste packages underground, but the individual waste  
3 packages themselves will not be shielded for personnel  
4 limits.

5           I think this is an important one, although it  
6 doesn't look like it. The repository horizon, of course,  
7 will be Topopah Springs, the TSw2 unit, and in this part, we  
8 are only looking at continuing the design in the primary  
9 area. The SCP defined the primary area, and it was later  
10 adjusted somewhat with the ESF alternative study, and this is  
11 the area that was laid out in the SCP. And because of the  
12 recent changes in the MPC decisions and the ramp slope  
13 changes, we have a new primary area, which is outlined here,  
14 with the new layout.

15           But what we're saying is we're going forward to  
16 assure that any of the designs that we do stay within that  
17 primary area. We're not looking for an area beyond that at  
18 this point in time.

19           Retrieval strategy. We developed a retrieval  
20 strategy. If you look at the SCP, there's a strategy that  
21 was developed back at that point in time. We had a strategy  
22 paper that was identified in the early requirements document,  
23 OGRB-2, and basically we've picked that back up, made a few  
24 changes to it, but we're following the strategy that was  
25 identified at that point in time.

1           The repository will be designed, proof of  
2 principle, for a retrievability period of 100 years after  
3 initial emplacement of waste. This was one element that was  
4 changed. It used to be 50 years, but because of the PPA  
5 approach, we have now changed that to 100 years.

6           The retrieval of emplacement waste will be  
7 performed for two reasons: Failure of the site or waste  
8 package or some other system causing a possible risk to  
9 public health, and two, if it was determined that there was a  
10 need for economic considerations.

11           The repository design will not preclude the  
12 possibility of constructing facilities for a temporary lag  
13 storage of the retrieved waste packages, if required.

14           We have the details on what that strategy is, and  
15 we'll be releasing it with the initial ACD report, which I'll  
16 talk about when we get into the schedule.

17           We have an assumption related to the fault stand-  
18 off distances for subsurface. Basically we're saying that  
19 it's a 60-meter stand-off distance except for the Ghost Dance  
20 Fault, and I think we explained why here. Exception: 120  
21 meter offset will be used on the west side of the Ghost Dance  
22 Fault because of the ESF Topopah Spring main drift will be  
23 excavated before the Ghost Dance Fault is fully  
24 characterized.

25           But these are the assumptions that the designers

1 felt that we needed to list to go forward to do the next  
2 phase, to get into the advanced conceptual design. For  
3 suitability, complete containment strategy. What we're  
4 saying is basically live within the 10 CFR 60 words, and we  
5 want to do a design goal--we want to achieve a design goal  
6 with a mean average waste package lifetime well in excess of  
7 1,000 years. So for a mean average, we're looking at a waste  
8 package in the 4 to 5,000 year range.

9           A fraction of the waste packages will be breached  
10 at 1,000 years, is less than 1 per cent. This is a driver  
11 back to the design on how we proceed.

12           And that leads us into--I want to spend a little  
13 more time with this Group 2. As I mentioned, we felt there  
14 were some areas, some key assumptions that we need to make,  
15 that we wanted to call in some specialists in both the  
16 technical and the program area. We wanted to make sure that  
17 we made the best judgment related to some of these type  
18 assumptions, and we had a workshop over the last month where  
19 we did bring in specialists from the program, brought in some  
20 university people to help assure that we're making the best  
21 judgment possible at this point in time with our knowledge,  
22 to assure we meet the technical requirements from our  
23 knowledge right now, and also the program requirements, our  
24 program needs of cost and schedule.

25           And so we made some assumptions related to waste

1 type and quantity, which is a driver of the design, backfill  
2 strategy, and I'll go through these.

3           As far as our initial assumptions related to waste  
4 type and quantity--and this was worked with the accept waste  
5 people out of headquarters and the people here at the  
6 project. And our current assumption, then, is related that  
7 rail shipments total approximately 3,800, 3,300 MPC, and high  
8 level waste 500, with three spent nuclear fuel train cars per  
9 rail shipment.

10           Truck shipments total approximately 1,900, all  
11 uncanistered spent nuclear fuel.

12           Receipt at the repository starting in 2010, if the  
13 site's deemed suitable, and ending in 2033.

14           Receipt and emplacement rate in accordance with the  
15 repository requirements document Table 3-3, which is really a  
16 steady state rate of 3,000 MTU per year spent nuclear fuel,  
17 and 400 metric ton units of equivalent high level waste  
18 glass.

19           I've got a viewgraph here that maybe puts that into  
20 some perspective.

21           I think it works out that the 3,000 MTU per year,  
22 and I showed this before, this is a 21 PWR/MPC. It's  
23 basically one of these a day when you're up to that unit--to  
24 that level.

25           Total capacity would be 63,000 MTU of high level--

1 or spent nuclear fuel, and about 9,000 MPCs and some  
2 uncanistered spent fuel packages.

3           Average spent nuclear fuel, 22.2 years old with  
4 42.2 gigawatt for MTU burn-up for PWR.

5           We've expanded these in some areas to cover the  
6 other spent nuclear fuel elements.

7           No repackaging of the MPC for purposes of head load  
8 tailoring.

9           And total high level waste, 7,000 MTU equivalent in  
10 14,000 high level waste glass canisters of the Savannah  
11 River/West Valley design.

12           Another area, a key assumption, that we sit down  
13 and talk. At this point in time, we're saying that we think  
14 we can meet all the technical requirements and the program  
15 requirements by saying we'll develop and go forward on a  
16 strategy where we will not backfill the emplacement drifts.  
17 We feel that we can meet the requirements without  
18 backfilling, so we're going to proceed down that road, try to  
19 substantiate this, that we do meet the requirements without  
20 backfill.

21           Surface facilities location we wanted to re-look  
22 at, assure that we had the right surface facility identified  
23 in the SCP for characterization reasons. If we now wanted to  
24 change it because of the different ramp slopes and the  
25 changes in the program, now would be the time to identify it.

1 And we're basically saying there's no real change in the  
2 area for the surface facilities. The ramp on the north side  
3 is still the least inclined, and that would be the rationale  
4 for leaving it there for future repository considerations on  
5 emplacement.

6           Operation of generated waste disposal, at this  
7 point in time we're saying that the generated waste would be  
8 taken care of basically on site in the geologic repository  
9 operations area. We're looking at what are the designs to  
10 handle the generated waste at the site and what would we need  
11 to do to assure that it stayed there on the site. Whether  
12 that be on a surface burial or back in the repository, yet to  
13 be determined.

14           Subsurface robotics, we're basically--we're  
15 basically saying for subsurface, we're wanting to limit the  
16 use of robotics. We want to use remote handling where  
17 possible and limit the use of robotics because of the concern  
18 for large, very hot, heavy packages. We want to make sure  
19 that we're not trying to go beyond the state of the art on  
20 our technology. So that's basically what the idea on this  
21 one was.

22           And this is probably one of the most important  
23 ones, the driver. We'll spend a little bit of time here, and  
24 then a little bit later, talk about what our decision  
25 strategy is.

1           Our current repository thermal loading assumption  
2 is this: That we're going to develop--basically go forward  
3 on one surface/subsurface concept, one surface/subsurface  
4 architecture or configuration that will accommodate a thermal  
5 loading operation range of a high 80 to 100 MTU per acre, and  
6 an alternative lower thermal loading range, operating range,  
7 between 25 and 35 MTU per acre.

8           So we're looking at, and again, one configuration  
9 that you can operate in two different ranges. We felt that  
10 at this point in time, we can meet the requirements for the  
11 full range from here to here, but we felt that there were  
12 some advantages when you look on the programmatic side to  
13 say, let's look at the lower range and the higher range of  
14 the range that we feel that we can live within. And so we  
15 have a primary now operating configuration that would be at  
16 the high range, and an alternative configuration that you'd  
17 operate at a lower range.

18           Develop a waste package EBS design to accommodate  
19 the primary and the alternative thermal loading ranges  
20 specified above. And that basically means we may go forward  
21 with a single concept surface and subsurface that you can  
22 operate at a higher or a lower range on thermal loading, but  
23 the design of the waste package will have to be separate.  
24 You're going to have a different design of the waste package  
25 for the lower range because of the environment it may see,

1 and I'll get into a little bit of that in a moment.

2           I'm going to go through the rest of these real  
3 quick.

4           We're saying that a preliminary decision on how  
5 you're going to operate the repository would be made both in  
6 2001 of the potential license application, and then at 2008,  
7 which is a license application amendment to receive and  
8 possess.

9           So at both those points, you'd make some  
10 preliminary determinations on what range you may submit that  
11 you're going to operate, but the decision would not be made  
12 until well into repository operations. You could back out of  
13 one of the operating modes and look at operating in a  
14 different configuration, if you felt you weren't going to  
15 meet the requirements or program needs.

16           And that we will design an area for performance  
17 confirmation for the alternative approach, whether it be the  
18 primary alternative. We will design a performance  
19 confirmation area that we can operate for whatever the  
20 thermal loading range is that we're not going forward on.

21           So you have the information for both high and low,  
22 depending on what that decision or that preliminary decision  
23 might be.

24           And this waste package containment barrier  
25 materials, based on the assumptions for the thermal loading

1 identified here, we had a week long meeting with all the  
2 participants, especially Livermore, to develop what our  
3 assumptions should be related to the barrier--the number of  
4 barriers and the material. We're sure that we're following  
5 the thermal loading assumptions and that the material for the  
6 primary or the higher range would be an inner containment of  
7 alloy 825 and an outer containment barrier of carbon steel.

8           And the assumption for the alternative, the lower  
9 range is three barriers, an inner, a middle containment  
10 barrier and an outer containment barrier of these materials.

11           Now, as we go forward in the testing program, we  
12 will be testing other candidate materials, the number of  
13 which I think is dependent on our budget, but we are  
14 definitely carrying a number of other materials in our site  
15 characterization testing program. Should we find out for  
16 some reason that we want to adjust these, we can hit the  
17 ground running, and we'll have the information on those.

18           That can probably be highlighted as to what some of  
19 our current working concepts are for the waste packages. I  
20 mentioned last time I met with you that we're looking at four  
21 waste package designs, the first one being a 21 PWR, this  
22 being the primary case, which has two barriers, and this  
23 being the alternate case, which has three barriers.

24           And the level of detail that we've been able to  
25 generate on these now is quite significant as we go forward.

1           So that's the 21 PWR.

2           Here's the current working concept of the 12  
3 PWR/MPC. Again, for the primary thermal load case, two  
4 barriers for the alternate thermal load case, three barriers  
5 with the material listed.

6           And the same with the uncanistered concept--I think  
7 the primary case. An inner barrier that we would load at the  
8 repository with an outer barrier, an inner barrier with a  
9 middle barrier and an outer barrier for the alternate case.

10           And then for the fourth design, the high level  
11 waste glass canister. Again, the same kind of approach, two  
12 barriers with the four high level canisters, two barriers--  
13 three barriers on that concept.

14           And that kind of leads me into some discussion,  
15 then, on what our management strategy is at this point in  
16 time related to thermal loading. It has preliminary on here  
17 because we are still in the process of assuring that we're  
18 integrating this from a design perspective with all the rest  
19 of the participants in the site characterization, and we're  
20 still going forward on this to make sure we're on board.

21           The yellow area really kind of looks at what the  
22 decision points are for DOE, and the initial design  
23 assumptions we show being made in '94. This important  
24 substantiation of the design assumptions, we have some status  
25 checkpoints along the way that you really have data input to

1 ensure that you're making the right preliminary assumptions  
2 as you go forward, just kind of checkpoints; and the  
3 operational assumption, again, which is tied in right now,  
4 this is how we may operate it with a preliminary look at it  
5 before license application if the site's determined suitable,  
6 and then another strong look at it before you do the license  
7 application update. But the point being that you're not  
8 going to make any kind of final decision until sometime way  
9 out in the repository operation. I don't know what the date  
10 is out here, but it's sometime well into repository  
11 operations where you really have actual site data from the  
12 performance of a repository to say, yeah, these preliminary  
13 decisions were right, or no, we want to change it and  
14 reconfigure the underground, the subsurface area for  
15 different thermal loading range.

16           We're looking at information needs to go back up  
17 and support some of these early preliminary decisions. I  
18 broke it down into two areas, engineering and PA. The tests  
19 that are identified here are the tests that were identified  
20 over the last year for thermal loading, and these are listed  
21 here. I think as you heard earlier, we're looking and  
22 reviewing to assure that this, indeed, is what we need to  
23 support some of these decisions. And it's interesting that  
24 most of the information that we're getting out of these  
25 thermal loading tests are related to the long-term, post-

1 closure, or the PA aspects, and not really the engineering  
2 needs right now to go forward and design a waste package or a  
3 repository.

4           There are some needs, though, however, that we do  
5 have, and we're looking at a very aggressive, very  
6 encompassing materials testing program for the waste package.  
7 and I put TBD here, and it really shouldn't be TBD, but the  
8 constructability aspects that we're looking at from a design  
9 perspective are really tied in to some of these tests, and I  
10 wasn't able to articulate them and understand them to the  
11 extent that I want to. So this probably should be to be  
12 verified at what the constructability aspects are that we're  
13 using to drive the design from these tests. We want to go  
14 back in, and we're in the process of reviewing what those  
15 might be.

16           So that kind of covers what our management strategy  
17 is related to the thermal loading decision as we go forward,  
18 and that then ties into our current advanced conceptual  
19 design schedule. We're proceeding on this. I put  
20 preliminary because there's two areas here. The key  
21 activities of the design are really tied to the multi-purpose  
22 canister, and I'll talk about those, to the control design  
23 assumption document, which again is the major driver to the  
24 design process as we go forward, the substantiation plans and  
25 how we review to assure that we've made the right assumption,

1 and again the summary report for ACD, which we really have  
2 three of them. We have an initial report the end of this  
3 fiscal year in September. We have an interim report the end  
4 of '95, fiscal year, and in '96 the final  
5 report.

6           And the reason I have preliminary on here is we're  
7 looking at the rail spur, although it's just one small  
8 component of the overall advanced conceptual design. We're  
9 looking at what--where does that--what kind of activities do  
10 we need to support the project and the program related to EIS  
11 development and in the future. And right now we're looking  
12 at maybe a workshop this year to look over all the past  
13 history. I mentioned that there was work that was done in  
14 the '50s and '60s. We want to have a workshop to make sure  
15 that we understand all the requirements and where we are and  
16 then possibly some meetings with effected units of government  
17 to look at what are the attributes that maybe we want to  
18 really concentrate on to help focus a corridor selection or a  
19 number of corridor selection processes, and then start  
20 looking at what the routing concepts might be in those  
21 corridors.

22           The yellow area identifies some of the other  
23 project activities that are closely tied to the design  
24 aspects. The interim site suitability report that was  
25 mentioned over the last two days, we need to have the design

1 aspects developed enough to support some of the aspects of  
2 the interim site suitability. Of course, the development of  
3 the annotated outline for license application. Site  
4 characterization progress reports, there will be feeds in for  
5 these. And, of course, one of the drivers is our total life  
6 cycle cost. When we finalize or get the final advanced  
7 conceptual design report, it will be a major driver into our  
8 new TLCC.

9           And this gives kind of a little outline of what  
10 we're looking at right now as we're developing our initial  
11 advanced conceptual design summary report. We're looking at  
12 breaking that report into these 12 areas: An introduction  
13 area, a project scope and methodology, design input, QA, site  
14 description, a waste package design description, surface  
15 description and a subsurface description, some closure and  
16 decommissioning aspects, cost estimates, which are very  
17 important to comply with some DOE requirements and DOE order  
18 4700, schedules and milestones and the uncertainties, issues  
19 and recommendations.

20           This outline very much follows what the project  
21 needs to comply with DOE orders and other outside program  
22 needs for a conceptual design report.

23           This first report that we're planning on having  
24 complete in September will, again, be very, very initial. It  
25 will be used to update the site characterization plan

1 conceptual design that has been superseded with the baseline  
2 changes for the MPC. Some areas may be in much more detail  
3 than other areas, but, again, it's going to be our initial  
4 concept as you go forward.

5           And that pretty well covers the material that I had  
6 brought with me. I probably went through it a little bit  
7 fast, but the morning goes quick. So are there some  
8 questions that I might entertain now?

9           DR. CORDING: Clarence Allen?

10          DR. ALLEN: Yeah, I appreciate that at this stage of the  
11 game you have to bite the bullet and make some assumptions  
12 about money things, although the fact is the more you get  
13 down in black and white now in details, the sort of harder it  
14 is to maintain flexibility in the future, particularly in  
15 terms of psychology and public relations and so forth.

16           I'm particularly concerned about the subsurface  
17 fault standoff. I really don't have any--I don't know where  
18 these numbers came from, and it seems to me we're trying to  
19 solve a problem before we have any idea of what the problem  
20 actually is. It's quite possible, for example, the Ghost  
21 Dance Fault will be found to be inactive. It's even  
22 possible, I suppose, it could be found that it is not a  
23 conduct for water at the depth of the repository. And to now  
24 talk about 60 meter offsets from the main face of the faults,  
25 I just don't quite understand.

1           For example, if we can show that one meter away  
2 from the main face of the Ghost Dance Fault, that rock hasn't  
3 broken in 12 million years, which is actually quite likely.  
4 I'm a little bit worried about getting this kind of thing  
5 down in black and white now that later we'll have to sort of  
6 back away from, or we might want to back away from I should  
7 say.

8           MR. STUCKER: And that's true. Again, it's an  
9 assumption. For instance, 120 meter offset right now is what  
10 our design shows, and it's a very conservative approach to  
11 say, gee, we really haven't got the details of the fault, so  
12 let's have a standoff distance of 120 meters, and that's what  
13 the current concepts show for both the ESF and the  
14 repository. As you get down there, you may want to adjust  
15 this, and this may be--this may be way too conservative as we  
16 go forward.

17          DR. ALLEN: Why 60 meters offset rather than one meter?  
18 I don't understand that.

19          MR. STUCKER: I might have Kal comment on it. I think  
20 it's to maintain some flexibility and--

21          DR. ALLEN: Well, you indicate reduce the flexibility.

22          MR. BHATTACHARYYA: Okay. I think the numbers came  
23 initially from USGS estimate at this time. The Ghost Dance  
24 Fault may have about a 700 feet wide traces, if you will.  
25 You have identified you're primarily concerned that the west

1 side of the Ghost Dance Fault--you have identified something  
2 called the Ghost Dance main face and the West Fault--and the  
3 West something--something, I forgot, the perimeter of the  
4 boundary.

5           So if you took the trace of Ghost Dance Fault and  
6 went west, the maximum span is about 400 feet, because that's  
7 the estimate--the last year I talked to Rick Spangler and the  
8 people like that.

9           So we figure that you said about 400 feet away, we  
10 are basically safely out of the Ghost Dance Fault and its  
11 traces. We don't want to go too far away because then we are  
12 really cutting into the repository--potential repository  
13 block that is available. And, again, we want to find the  
14 characteristics of the Ghost Dance Fault, so we are running  
15 parallel right now--planning to run parallel on that ESF so  
16 that we can make--into the Ghost Dance Fault, say maybe 400  
17 feet or so several times and find the characteristics of  
18 that.

19           But that's the current thinking, Dr. Allen. We  
20 want to--we don't know exactly where it is, but the best  
21 information we have shows that at 120 meters, we're away from  
22 that.

23           Now, when you look at Sundance Fault, that is  
24 cutting at, you know, kind of a northwest angle, and there's  
25 no really way that's correct, no way you really truly can

1 avoid and put a set-off distance and then expect to excavate  
2 it by TBM. So in those cases, we would probably avoid  
3 emplacing waste packages in the fault traces. That's the  
4 rationale at this time.

5 MR. STUCKER: I think it's a good example you bring up,  
6 and from an engineering standpoint, it was our first shot at  
7 trying to quantify what it is we're doing and what our needs  
8 are. And now as we go forward, we can start looking to some  
9 plans of how do we substantiate that that's a good number,  
10 and is it totally erroneous, and should we go to a two-meter  
11 standoff? Now we can start focusing some of the scientific  
12 basis to say, how do you get to the number? What is it  
13 that's important and the driver of this number?

14 And so it's really a focusing tool that we can use  
15 to get to what the right number should be

16 DR. ALLEN: Well, I appreciate that. I just worry about  
17 the fact that we're going to get underground and find a lot  
18 more complication than we ever thought. That's almost  
19 inevitable.

20 MR. STUCKER: That's true.

21 DR. ALLEN: There are going to be probably many faults  
22 down there. Having somehow gotten the 60 meter offset into  
23 the black and white here, we may easily--any fault, not just  
24 a fault with a millimeter displacement, not a fault on which  
25 any activity has been proposed. I'm afraid we may find

1 ourselves very much reducing the flexibility, particularly in  
2 terms of public relations and what the public visualizes  
3 we're backing away from eventually.

4 MR. STUCKER: I think it's a good point, and that's why  
5 I caveat that these are working assumptions, and that's why  
6 they're kept, except for these key assumptions, are kept at  
7 the AE level for quick changes. As soon as we find a reason  
8 and the rationale to change, to assure that we're meeting the  
9 requirement, not necessarily exceeding it, but at least  
10 assuring that we meet the requirement, we can rapidly change.  
11 It's a rapid response. And that's really the reason we  
12 developed this system--the system that we have set up really  
13 doesn't allow--if we would try to control it at either the  
14 project level or the program level, the system doesn't allow  
15 rapid changes.

16 And so that's one of the reasons that we developed  
17 this CDA process, to have a rapid easy change at the AE  
18 level, the M & O level. And that's why I caution everybody,  
19 these numbers that you see, again, are our first shot, our  
20 preliminary shot, and as we go forward looking at some of the  
21 substantiation, the plans, the site characterization, we may  
22 indeed change many of these. And the idea is not to limit  
23 our flexibility, but to increase our flexibility, and to have  
24 documented why we are doing what we're doing right now. And  
25 again, the standoff distances really document what our design

1 is right now and why it looks the way it does.

2 DR. CORDING: Leon Reiter?

3 DR. REITER: Yeah, I just want to follow up on the same  
4 point that Clarence pointed out about the standoff, and it  
5 has to do with the decision which you've heard today and  
6 yesterday that you're going to decide about going into the  
7 Calico Hills once you've reached to see what's happening at  
8 the Ghost Dance Fault.

9 And I just want you to think about the logic behind  
10 that. I mean, if you're really going to avoid the faults,  
11 then if, indeed, the Ghost Dance penetrates the Calico Hills,  
12 that might be a good thing for the site because you're  
13 avoiding--you're really avoiding the water, and it's a good  
14 thing to have a quick drain. If you're worried about  
15 groundwater travel time, we've heard before that DOE is  
16 pushing to have significant kinds of--to bring into travel  
17 time the idea of significance.

18 Performance assessment, at least the studies that  
19 I've seen, seem to indicate that rather than being concerned  
20 about single large fractures, there's a lot more concern  
21 about lots of little fractures that could occur.

22 So, again, I'm questioning why is this waiting, the  
23 decision about going into the Calico Hills, based upon what  
24 you find at the Ghost Dance? It could be that that would be  
25 really a non-important problem, but there could be other

1 problems associated with the Calico Hills.

2 MR. STUCKER: Let me ask Dennis to elaborate on that,  
3 integrate with the site people.

4 MR. WILLIAMS: Dennis Williams here, DOE obviously. I  
5 got in on the last--what we're going to find at the Ghost  
6 Dance Fault may bear on our decision to go to the Calico  
7 Hills. Is that the essence of--

8 DR. REITER: The question is why is that the critical  
9 issue, given the--I mean, just postulating very things. If  
10 you're going to avoid the faults, then the existence of a  
11 through pathway from Ghost Dance through Calico Hills may not  
12 be such a bad thing after all. It may have a quick drain for  
13 the water on the site.

14 On the other hand, again, performance assessment  
15 seems to argue similar type of arguments, that the single  
16 fault is really not a big problem. You're much more  
17 concerned with lots of little faults hitting lots of little  
18 packages and going through.

19 And so I'm just kind of questioning why the whole  
20 decision on the Calico Hills is dependent upon the Ghost  
21 Dance.

22 MR. WILLIAMS: Well, I guess the scientific programs is  
23 we don't depend entirely on what we see on the Ghost Dance  
24 Fault for our decision to go to Calico Hills. We're in the  
25 process of putting together a position on that.

1           What we're looking at is what we can get from the  
2 drilling program with regard to the Calico Hills. We really  
3 haven't had any good exploration efforts at depth on the  
4 Ghost Dance Fault yet. Hopefully, some of the drill holes  
5 that we've got underway right now we'll encounter on the  
6 Ghost Dance Fault, we'll understand a little bit more about  
7 it. But I think we're in a position where at some point here  
8 in the very near term, we're going to have to make the  
9 decision on going to the Calico Hills. If we can get an  
10 encounter out of--or an intercept out of ESF on the Ghost  
11 Dance Fault, that helps us on the decision.

12           We combine that with all the other information that  
13 we've got on the Ghost Dance Fault from surface mapping, from  
14 any drilling intercepts, and, of course, our drilling on down  
15 to the Calico Hills, evaluation of the Calico Hills,  
16 synthesizing all that information, then I think here in the  
17 very near term we can make a decision on whether or not to go  
18 to Calico Hills. But you have to have your design process  
19 rolling in that direction so you know what kind of opening is  
20 best to go down there, and really have your designs in place  
21 to do that.

22           But it takes a lot of iterations with design and,  
23 of course, PA in order to make all these determinations. But  
24 we don't want to miss the train here in the early part.

25           DR. REITER: As I told Gene yesterday partially, I guess

1 what I'm questioning is total reliance upon--or it seems to  
2 be great reliance upon what you find at the Ghost Dance as  
3 the key decision about going to the Calico Hills.

4 MR. WILLIAMS: Okay. Well, I don't think that we can  
5 totally rely on anything on this program to make a final  
6 decision. It's a synthesis of a lot of things.

7 I'll let Steve continue on PAs.

8 MR. BROCOUM: Well, I was out at Sandia, and we used  
9 this PA program a couple weeks ago, and we had talked earlier  
10 with the scientists. And one of the big issues, one of the  
11 key decisions we have to make in it is the Calico Hills.  
12 There are a lot of aspects on that. One is that the NRC has  
13 continually told us since the SCP, the draft SCP, that we  
14 have to adequately characterize at Calico Hills. They never  
15 told us how to do it, but they said we need an adequate  
16 characterization.

17 Interesting enough, when you ask the scientists,  
18 the "ologists," most of them seem to think we have to go to  
19 Calico Hills. I mean, it's just kind of an informal survey.

20 However, when I posed that question to the PA  
21 people, it wasn't a very obvious answer for them. They kind  
22 of hesitated, said, well, no, we're not so sure you need to  
23 go to Calico Hills.

24 So what I'm trying to say is as a blanket question,  
25 it is not a clear position among the scientists, both on the

1 "ology" side, the hydrology and geology and the PA that we  
2 ought to go to Calico Hills. The one thing that everybody  
3 seems to be in agreement is if we get to the Ghost Dance  
4 Fault and there's a lot of young water running through the  
5 fault, then we ought to go to Calico Hills. That we agree  
6 on. What other criteria for going to Calico Hills, we don't  
7 agree on yet.

8           So I think that's what you're seeing here in this  
9 debate, okay?

10       MR. WILLIAMS: One of the things that I go back to, and  
11 I talked a little bit with Bo Bodvarsson from LBL with regard  
12 to modeling of fracture flow in the unsaturated zone, and  
13 it's a pretty elusive thing. I mean, some of the diagrams on  
14 that show that if you had a plane and then you punched a  
15 drill hole through there in one spot, it would be dry, but if  
16 you punched it through in another location, it would give you  
17 an indication of some flow.

18           So how do we know for sure when we have that first  
19 encounter out of the ESF whether or not we're in a dry spot  
20 of that particular zone or whether we're in a part of that  
21 zone that has fracture flow? I mean, then you can get to the  
22 point of how many intercepts do you want on it--two, twenty,  
23 two hundred--before you make your decision.

24           But, again, we have to synthesize that information,  
25 and, of course, sometimes we don't get a whole lot of help

1 from PA, but we have to cover that base anyway.

2 MR. STUCKER: To maybe tie this back into the standoff  
3 distance, I think the standoff distance from a pre-closure  
4 design perspective, we're not so worried about what that  
5 distance is for the pre-closure. There's some concern for  
6 the post-closure in the PA side, so we're looking at a very  
7 conservative approach right now because PA and some of the  
8 long-term stuff is still being developed. So I think we're  
9 being real cautious as to what standoff distance it might be  
10 for the long-term, post-closure aspects.

11 DR. ALLEN: I still say if the rock hasn't broken in 11  
12 million years and you can prove that, which is probably going  
13 to be the case, 10,000 years is a very small part of 11  
14 million.

15 MR. STUCKER: I would agree with you.

16 DR. CORDING: Bill Barnard?

17 DR. BARNARD: Bill Barnard, Board staff.

18 Dean, are you assuming that the canisters of glass  
19 will be mixed with the canisters of spent fuel, or are you  
20 segregating the glass in the different part of the  
21 repository?

22 MR. STUCKER: We're assuming at this point, and again,  
23 it's very early in the concept development--let me see if  
24 I've got a viewgraph here that might better show it. Again,  
25 depending on what thermal loading we want to operate on,

1 we're assuming that in an emplacement drift--let's say we  
2 have an emplacement drift here, that we intermix the high  
3 level waste with the spent nuclear fuel. You may load an MPC  
4 and a high level waste and an MPC, but we are looking at  
5 intermixing it and getting some type of a thermal loading  
6 management strategy with that.

7 DR. BARNARD: How do the people making glass feel about  
8 these high thermal loads?

9 MR. STUCKER: I think it's one of the interfaces that we  
10 just really have started to concentrate on, and we're really  
11 not--we haven't done a very good job in the past, but we're  
12 at the point in the level of resources to start looking at  
13 that next year and really start driving it from that  
14 standpoint. And it could come back and drive the design. We  
15 may want to say every other drift now is a high-level waste  
16 class. So it's still real early in the concept.

17 UNIDENTIFIED SPEAKER: Dean?

18 MR. STUCKER: Yeah?

19 UNIDENTIFIED SPEAKER: On the glass, that has a thermal  
20 limit of 450 degrees versus 350 for the interior of the spent  
21 fuel container, so that's not a problem.

22 DR. CORDING: Yes, Dennis Price?

23 DR. PRICE: Was there much skepticism as you approached  
24 this subsurface robotics issue on no human entry at all? Are  
25 there any contingencies where you will see the need for human

1 entry?

2 MR. STUCKER: At this point in time, with what the MPC's  
3 look like and what our shielding assumptions are, we're  
4 looking at no entry. And so we're going to look to see if we  
5 can develop a concept that is realistic with that approach.  
6 So, right now, we're not looking at human entry. It would  
7 have to be--you'd have to do a retrieval and a shielding  
8 process and then place it somewhere else to get back into  
9 that drift, or to look at some maintenance on that drift or  
10 on that package.

11 DR. PRICE: So if there's a failure of monitoring  
12 equipment in the 100 years, or something like that, you're  
13 going to try to do this all remotely by robotics? You don't  
14 see a human being being required to get in there at all?

15 MR. STUCKER: That's our current going in assumption.  
16 We want to see if we can put together a concept that would  
17 allow that, a design that would allow that.

18 For equipment failure of monitoring devices,  
19 robotics, though, we feel that might be one use of robotics  
20 that we may use. But for the actual handling of a waste  
21 package, we're trying to steer away from the robotics.

22 DR. CORDING: Yes, Don Langmuir?

23 DR. LANGMUIR: Langmuir, Board. Looking at your waste  
24 package containment barrier materials list, it's clear the  
25 assumption is being made that corrosion is greatest at low

1 temperatures. And my guess is you've been talking to  
2 Livermore folks, not to LBL people.

3           The latest thinking at Berkeley is that there may  
4 well be contact between water at high temperatures and quite  
5 a few canisters at the fringes, at the edges, and the  
6 interior of the repository. And given the higher  
7 temperatures of that system, of those conditions, you may, in  
8 fact, need the Monell at the higher temperatures as much or  
9 more than you need it at the low temperatures.

10           I'm looking at your--I can't read all the numbers  
11 of the overhead, but--

12       MR. STUCKER: Yeah, I know which one, I just haven't  
13 found it.

14       DR. LANGMUIR: --it's kind of in the middle.

15       MR. STUCKER: Let me just put up one of the drawings I  
16 have, just to highlight it that way, say, take a 12-PWR. But  
17 I think the possibility--it's true, there is some possibility  
18 there. That's why these are our going in materials, but  
19 we're looking at other materials in our testing program to  
20 possibly change.

21           And when we identified these, it was a long, drawn  
22 out process. But we did get some uniform convergence of the  
23 specialists to say, "This is probably our best shot at this  
24 point in time for what we know, to meet the requirements, the  
25 substantially complete requirements, meet the technical

1 requirements, and the program requirements, which are cost  
2 and schedule." So some of this is cost and schedule driven,  
3 assuring that we feel right now we can meet the requirements.

4           So that's probably why we are where we are right  
5 now is, when you put all that in a bag and you get the  
6 specialists together, this is what they came out with.

7           DR. LANGMUIR: Well, but some of the specialists,  
8 perhaps, the Livermore people, are convinced that there will  
9 be uniformity of thermal load, or reasonable uniformity,  
10 across the repository. The Berkeley folks are arguing  
11 recently that that's not likely to be the case, that there  
12 will be quite a bit of water getting into the system, ponding  
13 under high thermal load conditions, and making it down to  
14 some of the waste packages. So I think it's premature to  
15 decide that you're going to avoid the Monell at high T. I'm  
16 sure these will all be checked in the thermal tests.

17           MR. STUCKER: Yes. That, again, ties back into the  
18 substantiation process, which really are tied back into the  
19 study plans for site characterization. As we go forward and  
20 we get information that starts to say no, what we thought two  
21 weeks ago really isn't some of the data, and the information  
22 that we're getting in, we need to start maybe looking at  
23 changing our thinking. We may adjust that. So, as I say,  
24 these may change.

25           But again, if you did change the material, it

1 doesn't really necessarily change your concept. It might  
2 change some of the well techniques, it might change some of  
3 the handling techniques, and that's what we'll go back and  
4 look at. What does that impact on the design that we're  
5 carrying forward, and what do we need to change.

6           And by no means is any of this absolute concrete  
7 that we made a decision on this. This is just to help focus  
8 our efforts, and this is our best shot at, again, meeting the  
9 technical requirements and the programmatic requirements at  
10 this point in time.

11       DR. LANGMUIR: What are the cost differences between  
12 these two approaches?

13       MR. STUCKER: Let's see if somebody can help me. I've  
14 seen the list, but I'll tell you, I don't remember them. Can  
15 you help a little bit there, Hugh?

16       MR. BENTON: We have not yet developed definitive cost  
17 estimates for each of those. That is a near term project,  
18 and we will be working on that this year. Obviously, the  
19 Monell will add costs. We are attempting to increase the  
20 cost effectiveness of the total system by making the inner  
21 and outer barriers the same, and the design be the same as  
22 much as possible, and then just add the Monell if that turns  
23 out to be necessary. And we are considering the Monell as a  
24 potential outer barrier in a wet environment, whether that's  
25 caused by a low thermal load or whether it's caused by a high

1 thermal load. And it may be that even though most of the  
2 repository is dry, we're still going to have a problem at the  
3 edge. I think this is a conservative approach which will  
4 give us the two designs, and then we can decide where to put  
5 them.

6 MR. STUCKER: The costs that we used to come up with the  
7 assumptions, I think, were very general. There was a list  
8 that they were identified that they were at a very high  
9 level. As he said, we're starting in the process of really  
10 getting, you know, into looking at some hard numbers and some  
11 better facts.

12 DR. LANGMUIR: One more.

13 DR. CORDING: Yes, Don?

14 DR. LANGMUIR: An unrelated question. This is the first  
15 time I heard about this, but obviously you're going to have  
16 operations generated nuclear waste, presumably low level and  
17 intermediate level. I have not heard about this--don't think  
18 I have, anyway, forgotten it. How much, and what would you,  
19 on the scale of the repository? Is it a significant volume  
20 of material to deal with?

21 MR. STUCKER: Let me ask Larry. This is a major concern  
22 to him that he's been pushing and identifying, and I'll let  
23 him--

24 MR. O'NEAL: My name is Larry O'Neal with the M & O  
25 Service Facilities Design. I don't have those numbers. I

1 can get them for you. We have some reports that have been  
2 written in the past making estimates about the amount of low  
3 level generated waste. But that was prior to the adoption of  
4 the MPC decision, and now we really believe that having the  
5 MPC and not making the individual fuel element transfers and  
6 surface facilities is going to significantly decrease the  
7 amount of low level waste that we generate.

8           So one of the things that we want to do in the  
9 upcoming years is to go back and reevaluate that based on new  
10 designs of the surface facilities based on the MPC decision.  
11 And we're not there yet, but I can show you what we think as  
12 far as estimates. But they're not substantiated at this  
13 point.

14           MR. STUCKER: Some of the assumptions that we have-  
15 -for instance, receiving burn-up credit assumes that we're  
16 not going to have to reopen MPC's at the repository and maybe  
17 add filler material and the reclose. That is an alternative  
18 that we're carrying in our back pocket, as well as other  
19 alternatives. But if we had to do that, that would greatly  
20 affect the site generated waste that we may see. So some of  
21 these assumptions, you know, all interplay with each other  
22 and how the design may go forward and what affects what  
23 assumption.

24           DR. CORDING: Dean, I understand that even with the low  
25 thermal loading, there's some above boiling temperatures in

1 the rock. And I was wondering if you're looking at the  
2 possibility of a low thermal loading scenario, perhaps with  
3 aged fuel or something, that would give you no boiling in the  
4 rock. Is that an option that you're going to look at or not?

5 MR. STUCKER: I think it's out there. Again, this early  
6 approach would be that you could operate a potential  
7 repository either at the higher range or the lower range, but  
8 I guess part of our assumption is, at this point in time, if  
9 both of those would be above boiling skin temperatures on the  
10 waste package, there are some possibilities.

11 For instance, if we made the determination or  
12 preliminary determination that we wanted to load this at the  
13 lower range, it appears that for this primary area, we could  
14 only get, say, 40 or 50,000 MTU in that area. We have a lot  
15 of options at that point in time if we wanted to continue and  
16 say, "Yeah, it's the lower range." We could thermally age  
17 for some additional years that it appears. And Hugh may have  
18 some of the numbers there. But for a period of time, we  
19 could age this, and we could get the full 70,000 MTU into  
20 that primary area with some aging within that 100-year period  
21 that we're looking at.

22 We also have the option where we could--you might  
23 want to at a later date say, "Hey, I want to characterize  
24 some additional ground to see if potentially we could open up  
25 some other areas." Or you may just limit it to the 50,000,

1 move on to the second repository, if that's what they deem  
2 they want to do sometime in the future.

3           So there's a lot of flexibility built into this  
4 strategy. We're looking at trying to maximize our  
5 flexibility and get the best data we can before we make any  
6 real decisions.

7       DR. CORDING: Okay, thank you. Thank you very much.  
8 One more question here. Don?

9       DR. LANGMUIR: Just a clarification for me. I'm looking  
10 at the individual waste packages point that you're not going  
11 to shield in the personnel limits. How does that impact, or  
12 does it impact, your options in thermal load? If you've got  
13 a bigger package with more shielding, does that lower its  
14 skin temperature significantly?

15       MR. STUCKER: I don't think so. Hugh, do you want to  
16 address that?

17       MR. BENTON: Hugh Benton with the M & O. No, sir, we  
18 would not expect that the--whether or not we had shielding  
19 around the outside would materially affect the thermal  
20 characteristics, because we are assuming that if we do use  
21 shielding, it would probably be metallic. Now, we have  
22 considered some concepts of concrete or some other type of  
23 shielding which might be lower cost, might give us also some  
24 benefit in buffering the environment to maintain high pH.  
25 But we have not yet developed those concepts to the point--so

1 far, when we've looked at shielding, it's been metallic  
2 shielding, and the thermal conductivity is good enough so it  
3 doesn't affect the thermal load.

4 MR. STUCKER: As we were saying, we would transport the  
5 waste package underground in a fully shielded transport cask  
6 rotated on a turntable, open a door--this is our concept  
7 right now. I went through it before. But we'd open a door,  
8 then insert the waste package, close the door, and then for  
9 the thermal loading, we're looking at--again, this is the  
10 first shot at it, and this definitely will change. What  
11 we're looking at, then, for the thermal loading, you could  
12 place these at whatever distance you want.

13 And right now, we're looking at possibly a drift  
14 spacing of 20 meters, with a waste package spacing of 20  
15 meters for a high thermal loading range. And if you wanted  
16 to drop to a lower thermal loading range, you could skip  
17 every other drift, go to a 40-meter spacing on the drifts and  
18 a 40-meter spacing, then, with the waste packages.

19 So that's looking at some of the flexibility you  
20 have with a single concept, single design, but you're going  
21 to operate it differently.

22 DR. BARNARD: Does this mean that you have to cool off  
23 the drift before you move them? Bill Barnard, Board staff.

24 MR. STUCKER: If you wanted to adjust it, I think that's  
25 part of the design, is that in advance we would have to look

1 at do you need to cool it? We're looking at trying to assure  
2 that we have a concept that you wouldn't have to spend a lot  
3 of time cooling it, you could run in and make the changes.  
4 And that's why I say we're looking at remote handling, not  
5 robotics, to the extent we can. I'm pushing to look at  
6 perhaps in these drifts we don't really use rail cars, but we  
7 use some kind of skid mount technique where we skid mount  
8 them and we use a very massive system to insert and retract.  
9 So this will definitely develop, and we'll keep you informed  
10 as the process allows.

11 DR. CORDING: Okay, Clarence?

12 DR. ALLEN: Clarence Allen. Just one further comment on  
13 fault displacement. If you really do go ahead and have no  
14 backfill, then the problem of fault displacement almost  
15 becomes irrelevant, because you can have up to several--  
16 perhaps even meters of displacement and still not prejudice  
17 the containment, depending on how they're anchored.

18 MR. STUCKER: That's a good point.

19 DR. CORDING: Okay, thank you very much.

20 MR. STUCKER: Thank you.

21 DR. CORDING: Appreciate your presentation.

22 We're going to move directly, then, into our final  
23 period here of approximately one hour, where we can have  
24 discussion of the issues and items we've been discussing that  
25 have been presented to us and have been covering the last day

1 here.

2           I would like to continue with one of the items that  
3 we began earlier today, the discussion of some of the  
4 schedule and the equipment options, a setup of the  
5 underground work, and I'd like to do that. Perhaps we can  
6 come back to some of the management issues, and then have  
7 further comments from our consultants also in this period.

8           But I wondered if we couldn't start with looking at  
9 the scheduling of the TBM and get a little more understanding  
10 of some of the things that are possibilities for doing  
11 alcoves, integrating the system, and integrating that into  
12 the operation in such a way that you get a lot of the science  
13 done and also get progress to the other scientific goals on  
14 the site. So if perhaps we could go into that. And I  
15 wondered if we had some comments from people within the  
16 organizations here, perhaps the contractor, or the M & O,  
17 might want to discuss some of that, have some comments on  
18 that. Lance, do you have some things for us on that, what  
19 some of the plans are you're thinking of at this point?

20         MR. DESTWOLINSKI: Lance Destwolinski. I'm the Product  
21 Manager for Kiewit/PB. Some of the earlier figures you saw  
22 were from a schedule we put together for REECo. It's been  
23 passed on to DOE. Since then, we have gotten some additional  
24 geological information on, really, what kind of rocks and the  
25 extent of rocks that we're doing. We're in the process of

1 basically updating that schedule to be submitted to the  
2 program.

3           The concept that we're kind of pushing is basically  
4 to try to get the system to buy a second eighteen-foot  
5 machine as soon as possible, starting early next fiscal year.  
6 We believe that could be on hand within, let's say, a one-  
7 year time period. We're looking at a used rehabbed machine.  
8 There are a number available in the community that could be  
9 used for this.

10           For those who don't know about tunnel-boring  
11 machines, the best productions of that are basically made out  
12 of used machines that you rehab. And you really rebuild  
13 them, but you take a known product that you've basically got  
14 all the bugs out of and use it again and make it better. So  
15 those kinds of things like leak mitigation can be put into  
16 those types of machines, just like we have with the new  
17 machine that was bought.

18           The other thing that we're pushing is what we kind  
19 of named a mini mining machine, 2.5-meter machine, just  
20 slightly over 8 foot, to do alcoves. Also, it would be to do  
21 like the exploratory out to Ghost Dance, to do the heat test  
22 alcoves and things of that nature. Here again, by adapting a  
23 machine like that, we can minimize the impact to the 25-foot  
24 TBM operations. We get it down to where we're talking about  
25 maybe a shift or a few shifts and a set of days.

1           Typically, right now, the alcoves are in high-  
2 strength rock in the range of 15 to 20,000 psi. They are  
3 drill-and-shoot. If you look at taking normal commercial-  
4 type equipment in there, scoop trams and drills of that  
5 nature, you are going to interrupt the TBM operation. If we  
6 had the softer materials, where we could hand mine it or use  
7 roadheaders, yes, it would be a minimal impact, which is what  
8 Jack referred to from the English Channel. We had the same  
9 thing in Denmark and a job we're doing at Great Bell  
10 Crossing. We were able to basically do those without  
11 interfering.

12           But if you can buy machines early, some of the  
13 questions that were asked later, and what I have in front of  
14 me is basically the draft of the new schedule, we think we  
15 could have the heater test basically completed--it depends on  
16 whether you want to go with a five-day work schedule or a  
17 seven-day work schedule, starting next fiscal year. But you  
18 could be looking at having, basically, a heater test  
19 available and completing the first one on a five-day basis,  
20 let's say November of '96. If you go to a six-day, you'd  
21 probably be looking, say, May of '96. The second one would  
22 follow shortly thereafter.

23           DR. CORDING: The November would be the completion of a  
24 heater drift, you say?

25           MR. DESTWOLINSKI: Correct. Of two. Really what

1 they're talking about is a pair of drifts. What they're  
2 looking at is two parallel drifts. One would be for the  
3 heaters, the other one would be for testing. So you're  
4 talking about a combination. Generally a range of 200 to 300  
5 feet long. One would probably be drill and shoot in order to  
6 allow--or at least be so you mine it with the TBM, and then  
7 slab it out to allow for the drilling equipment and the  
8 testing. The other one, then, they'd install the heaters in  
9 and basically seal the unit.

10 DR. CORDING: So that you're saying November of '96?

11 MR. DESTWOLINSKI: Yeah--

12 DR. CORDING: That would be in place?

13 MR. DESTWOLINSKI: If you get everything going and you  
14 get the materials and the equipment in there.

15 DR. CORDING: That means you have to also have some of  
16 these alcoves--this alcove or the 2.5-meter machine?

17 MR. DESTWOLINSKI: I need two things. I need the 5.5-  
18 meter machine, or 18-foot mining machine. You know, start  
19 procurement and have it by the end of Fiscal Year '95. I  
20 also need the mini mining machine by that period of time. We  
21 think that's doable.

22 DR. CORDING: When do you think you'd be able to be at  
23 the bottom of the ramp? I mean, what are you assuming?

24 MR. DESTWOLINSKI: Right now, going back, here again, it  
25 depends on--the 2C package we're looking at right now, it's

1 five days. We're looking at about April of '96. Seven days  
2 a week, we could be, let's say, the 1st of December, '95.  
3 There are a lot of if's in that.

4           One thing we've assumed in all our schedules,  
5 basically, we've looked at commercial rates. We've taken, of  
6 course, our experience with conveyors, both from  
7 supercollider and Boston, where we're using them. We've  
8 taken basically the penetration rates that were worked up by  
9 the manufacturer, CTS, and also the rates that were worked up  
10 through the Robins Company in their proposals.

11           Now, there's basically about five major types of  
12 rocks that we're looking at that we will mine. The Topopah  
13 Springs W2, if you look at the test data, it will tell you  
14 that you get an instantaneous penetration of about 7.4 feet  
15 an hour. If you take that and take it back with our  
16 experience from supercollider, we think that's an average of  
17 75 feet a day mining period. And that's in the same range as  
18 utilization that Ivan talked about before. But we're using  
19 this 50 percent based on a 20-hour mining period, where we  
20 spend four hours every day doing maintenance. We've found  
21 that to basically maximize our production.

22           You get into softer rocks, we can see some of them  
23 up into the eleven- and fourteen-foot-an-hour range. The  
24 thing that we have a problem with there is the support design  
25 as it exists now will really control the mining operation.

1 We're looking at Williams bolts. There are basically eight  
2 to a pattern on a meter and a half spacing. They want to  
3 drill a 2 1/4-inch hole. When you do that, basically, the  
4 ground support limits your mining. That's Category 1.  
5 Category 2 goes, basically you double that. What they call  
6 Category 3 goes to adding shotcrete to that. Category 4 and  
7 5 are steel sets, depending on how much lagging we put in.

8           Those kind of things, and the things that have to  
9 do with the program, delays for mapping, we call problematic  
10 delays. And right now, our schedule has a fifteen-percent  
11 allowance for those activities in it. That's kind of a  
12 number that all the parties--and I say the M & O, ourselves  
13 and REECO--agreed on back late last year. In fact, can we do  
14 that? We don't know, and we won't know till we actually get  
15 in and start working. But we thought it was a reasonable  
16 assumption to make.

17       DR. CORDING: What's the effect of the conveyor  
18 situation? If you don't get a conveyor in the next ten  
19 months or so--

20       MR. DESTWOLINSKI: We think it's going to cut our  
21 production not quite in half, but it surely is--we're  
22 figuring about 38 feet a day, with basically muck cars--the  
23 problem is, if we could set up for full muck cars, we could  
24 get much better than that. We're limited basically with the  
25 machine, as it is designed for the conveyors, of being able

1 to only get three muck cars underneath the conveyor system.  
2 You'll probably fill two and a half of them. You're  
3 basically limiting yourself to a two-foot cycle. So, you  
4 know, if you look at 30, that's about--we'll make an average  
5 of about a cycle every less than an hour.

6 DR. CORDING: So your '96--

7 MR. DESTWOLINSKI: So we're not really set up for it.  
8 We don't have the California switch right behind or built  
9 into the thing like you would if you were doing it that way.

10 DR. CORDING: Yeah.

11 MR. DESTWOLINSKI: To put in the conveyor was strictly  
12 due to funding. The funds available for this year for REECo  
13 and ourselves to do work was \$38 million. Our estimate to do  
14 the work that we thought we could do this year was about 54,  
15 is that right? Do you remember, Dan? And so, what really  
16 got to be a point is, what do you trade off? Do you do  
17 anything, and do you mine at all, or do you put things off?  
18 Basically, the choices were made by all that you put certain  
19 things off. The conveyor got to be an easy thing to put off.  
20 It's a big dollar value, particularly when you look at the  
21 underground conveyor system and the outside conveyor system.

22 So, yes, I'd like--normally we'd mine about 400  
23 feet here and put a conveyor system in and go. That's what  
24 we'd like to see, and I think the program is trying to get us  
25 back to that. But it will be early next year before it

1 happens.

2 DR. CORDING: But the '96 date for getting to the bottom  
3 of the ramp, that's based on this present--

4 MR. DESTWOLINSKI: Right now, we're figuring we will not  
5 have a conveyor until May of next year.

6 DR. CORDING: And that also includes--

7 MR. DESTWOLINSKI: And that's built into the schedule.

8 DR. CORDING: --the time for four alcoves, I think it  
9 is?

10 MR. DESTWOLINSKI: Yeah. Right now, I think three of  
11 those get done drill and shoot. We're saying the fourth will  
12 actually be done with the mini mining machine as soon as it's  
13 bought. And that's built into the schedule.

14 DR. LANGMUIR: Question related to the conveyor belt.  
15 You couldn't purchase with the money available, but couldn't  
16 you rent it? Isn't there sufficient funding to get it on  
17 board as a rental?

18 MR. DESTWOLINSKI: Well, you won't find a manufacturer  
19 that will rent you one. You'll pay exorbitant rates for it.  
20 There are two used ones existing right now, and as we told  
21 the program, it just depends on timing. One of them is owned  
22 by M-K, and the other one's owned by a joint venture that we  
23 happen to be a partner in. But the timing gets to be that  
24 there's other work out there, too, and if the work comes  
25 before the purchase, it will go someplace else. But you

1 won't find commercial conveyor people that want to rent you  
2 these kind of belts on a rental. Unless it's at quite an  
3 exorbitant rental rate.

4 DR. CORDING: Tony?

5 MR. IVAN SMITH: It goes kind of back to the comment we  
6 had about the outside conveyors. In terms of purchasing, all  
7 that would be required for the first year's schedule would be  
8 a magazine unit--the first booster, and so it's only a  
9 fragment--

10 MR. DESTWOLINSKI: That's correct.

11 MR. IVAN SMITH: Pardon?

12 MR. DESTWOLINSKI: That's correct.

13 MR. IVAN SMITH: We brought this up in discussion a year  
14 and a half ago, when I made a comment which I think you might  
15 agree with, is that the total cost of the backup system could  
16 exceed that of the machine. In this case, it couldn't, but  
17 at that time, typically, a conveyor system might be \$7 or \$8  
18 million. But you'd only need to purchase \$1 to \$1.5 million  
19 of that the first year. Was that considered at all?

20 MR. DESTWOLINSKI: Yeah. I think basically, if I  
21 remember, we were looking at buying enough conveyor for the  
22 2C package, which is roughly \$9,050. If you get someone into  
23 this government procurement system, what you have to commit  
24 to and what you have to then add onto, it's all intermixed  
25 with this. It's quite complicated and quite time-consuming,

1 and we're trying to work on it with Bob's help. But it is  
2 not our normal type of thing. I would love to buy things  
3 like I normally do.

4 MR. IVAN SMITH: Well, I think I brought that up a  
5 little while ago, is that the fact is that if you procured  
6 the conveyor belt, it would not affect the product at all,  
7 but it would certainly affect the schedule, which this whole  
8 project is schedule driven, so you would improve the schedule  
9 if you were able to effectively purchase an item, actually.  
10 Probably in the order of a million, million and a half  
11 dollars will get you underway.

12 MR. DESTWOLINSKI: If you can get through the federal  
13 procurement system in a reasonable period of time. And  
14 buying a used belt actually is a longer period than buying a  
15 new belt. Don't ask me why, there are other people that have  
16 to answer that question. That's what they tell me.

17 DR. CORDING: Is there a way that the contractor can  
18 purchase a belt and lease it or rent it?

19 MR. DESTWOLINSKI: Yes. I mean, right now, we are  
20 renting--the muck cars here are basically cars that we  
21 already own and basically they are being rented to the system  
22 for a temporary period of time. A lot of what you see out at  
23 the temporary shop facilities are being rented.

24 DR. CORDING: Well, why can't the conveyor--

25 MR. DESTWOLINSKI: Would I want to buy a conveyor system

1 and rent it here? No, because it's not economically to my  
2 advantage to do that. If I owned the system, yes, I would  
3 consider that.

4 DR. CORDING: If you owned one, then you could do that.

5 MR. DESTWOLINSKI: And the joint venture would be  
6 willing to lease the conveyor system. And I'm sure M-K would  
7 be willing to lease the conveyor system, as it exists right  
8 now. But then you get back into the design has a lot of  
9 bells and whistles on it that neither of these two systems  
10 have, and then what's the lead time to upgrade that conveyor  
11 system here to meet the specification requirements of the  
12 program? Because the conveyor they're buying is not one that  
13 I would buy. It's a much more complicated system. It's got  
14 a lot more controls on it and, you know, basically  
15 information gathering systems than I would buy as a  
16 contractor.

17 MR. IVAN SMITH: What additional items does it have on  
18 it?

19 MR. DESTWOLINSKI: Well, it's got computers that I am  
20 totally objected to. I don't want conveyor systems that are  
21 monitored and controlled by a computer system. It's got a  
22 number of other things that don't exist in a commercial  
23 market -- fire suppressing systems, monitoring systems, weight  
24 systems. You know, we could go on and on.

25 MR. IVAN SMITH: Well, I think this is a comparison that

1 has to be made to what's done in commercial practice and what  
2 is done in this scientific facility. And I think that the  
3 aspects of the commercial business have to be applied for an  
4 improvement in scheduling and improvement in cost. The fire  
5 suppression equipment is--in the mining industry, the coal  
6 industry, conveyor belts are the primary means of extraction  
7 of coal, and it's a very sensitive environment.

8 MR. DESTWOLINSKI: The thing is, we run into all the  
9 time, and it's always been an argument on our side, we  
10 basically fight for economics and keeping things simple,  
11 because those are systems that I can operate effectively.  
12 When you start adding PLC's and things of this nature, our  
13 experience is basically we're going to have down time because  
14 of them, fixed utilization. That means I mine less than I  
15 normally would. Then you get into the program here, and all  
16 the basically outside influences, from a safety point of  
17 view, from a number of other points of view, that basically  
18 are driving the requirements. And how do you get by those?  
19 It's very difficult. There always seem to be more reasons  
20 why things are in than we can find reasons to get them out.

21 DR. CORDING: Are you involved in the design of the  
22 conveyor?

23 MR. DESTWOLINSKI: No, we're not. That's basically M &  
24 O's responsibility.

25 DR. CORDING: Who's going to make the decisions for

1 support in the initial support that goes into this tunnel as  
2 you advance? Who makes those decisions? How are they made  
3 in the heading?

4 MR. DESTWOLINSKI: Basically, right now, we're looking  
5 at five categories of support. It will be a joint decision  
6 between our walker and basically an M & O geologist that will  
7 be on the machine.

8 Now, the way the system's set up, Category 1, we  
9 can easily go to Category 2. We can easily go to Category 3.  
10 If you remember the picture of the machine, we have drills--  
11 or will have drills--right in the TBM. We also have a  
12 secondary ground support platform that's also a cleaning  
13 platform to clean the rock for the photography. But we have  
14 a choice there of adding additional bolts. There are also  
15 some bolts that we can't reach up at the TBM, and we have to  
16 put those in, the ones that spring lock. So, we can change  
17 things as we go along.

18 If for some reason later on, let's say we find a  
19 stretch of ground that needs additional--we will also have a  
20 rail mounted drill jumbo and basket we can go in and do  
21 basically maintenance type bolting later on. I think the  
22 system is designed so that you can increase the categories as  
23 the conditions--

24 DR. CORDING: You have a shotcrete option, not a  
25 requirement in all cases, but you have it as an option in one

1 of the categories.

2 MR. DESTWOLINSKI: It's a line I talked about here  
3 recently, and we're looking at right now, would be modifying  
4 the third platform. It's almost at the very end of the  
5 training gear, basically mounting a robot boom on there to  
6 put wet shotcrete in. That's something we've finally got  
7 negotiated with the M & O and come to an agreement on this.

8 A lot of this has been a lot of give and take, like  
9 the ground support, the Williams bolts. That's not what I  
10 would choose, but they're looking at 25-, 50-, 100-year life  
11 designs. You know, they have reasons for doing what they do.  
12 I don't totally agree with them, but here again, I'm not the  
13 designer, so--

14 DR. CORDING: Yeah, those are mechanically anchored  
15 bolts that are later grouted, I understand.

16 MR. DESTWOLINSKI: That's correct, yeah.

17 DR. CORDING: Do you grout them later?

18 MR. DESTWOLINSKI: We'll grout them later. We'll do the  
19 testing and grouting off the machine so we don't basically  
20 impact our mining operations.

21 DR. CORDING: Other comments or discussion on this?

22 Yes, Lee Renegar with the M & O?

23 MR. RENEGAR: I'm Lee Renegar, the construction manager.

24 A lot of what Lance says I agree with. I want to clarify a  
25 few things on the conveyor issue that he was talking about.

1 The clarifications on that are that there are some  
2 requirements for PLC's, there are some requirements for  
3 monitoring systems, there are some requirements for control  
4 systems. Those are part of the integrated data system which  
5 comes in later on. We are in the process of discussing and  
6 trying to modify so that we can phase these things in so that  
7 Lance doesn't have to deal with PLC's, so that we don't have  
8 to deal with them. I agree with him in terms of if you can  
9 do it simple, keep it simple.

10           These things are ongoing. We've talked. He gave  
11 some indication that there's been some talk back and forth.  
12 He does have some input, so does REECo, in terms of  
13 constructibility to the design, not the original design. And  
14 we have been working the talk up front.

15           The way I see my job is to keep between these two  
16 and keep things going back and forth, the designers and the  
17 constructors. And I come down foursquare on the simple side,  
18 but the designers do have requirements, and we have to abide  
19 by them.

20           I'm just trying to make it clear that discussions  
21 are ongoing to try to solve these problems. One of the areas  
22 that he talked about was procurement, and we have some issues  
23 that are on the table this afternoon to discuss about those  
24 to try to speed this up and keep things moving ahead.

25           DR. CORDING: John Cantlon?

1 DR. CANTLON: Cantlon, Board. Could we get a comment  
2 from the designers as to why they need the Cadillac version?

3 MR. SAUNDERS: Bob Saunders. Cadillac version is mainly  
4 because of requirements that are imposed upon us. There are  
5 a number of requirements in the ESFDR, which we are obliged  
6 to follow. We've had a number of comments and criticisms  
7 from some areas, the NRC, Technical Review Board in the past  
8 on the way the design is being done. In general, we've tried  
9 to respond to those.

10 The question of the PLC's, that is being actively  
11 discussed right now. We hear the argument that they want to  
12 keep things simple, and we agree that we should keep things  
13 as simple as much as possible.

14 The other area that's had a lot of discussion on it  
15 is ground support. And there are a number of factors there  
16 that we've looked at. Category 1, which is primarily rock  
17 bolts, we see that as being majority of the ground support in  
18 this tunnel. And that should have very little impact on the  
19 TBM progress.

20 Another issue that has been discussed in terms of  
21 delaying TBM progress is the scientific work. And again,  
22 we've sat down with both the constructor and the testers to  
23 figure out how best to do that, and we came up with this  
24 mapping platform concept. The idea there is that--this may  
25 change, too--originally there were two production shifts, one

1 maintenance shift, and the system was designed so they could  
2 do all the mapping on the maintenance shift. At the same  
3 time, if it was necessary to map on production shifts, they  
4 could do that as well.

5           These are some of the reasons why the design has  
6 gotten as complicated looking as it has. Primarily, we're  
7 responding to requirements that others have imposed upon us.  
8 We've been asked on a number of occasions to challenge some  
9 of those requirements. That is easier said than done.  
10 There's been a lot of thought went into those requirements,  
11 particularly those in the ESFDR. We are challenging some of  
12 them. Some we happen to think for the kind of facility we're  
13 designing, they're a good idea.

14       DR. CORDING: Thank you.

15       MR. STUCKER: I might add a comment here. From a  
16 commercial standpoint, I think that the Department of Energy,  
17 on a health and safety basis, is going well beyond what is  
18 commercial practice. And I think you need to note that. In  
19 I think it was 1978, the German exploratory shaft facility  
20 that was being constructed had a fatality. And it's my  
21 understanding, I think they're still down today because of  
22 the public sentiment on the fact that here's an Exploratory  
23 Studies Facility that you can't construct without an  
24 accident. How can you expect to operate a major system? And  
25 our lessons learned from that point from a problematic

1 standpoint, came back and said, "Wait a minute, we're going  
2 to go well beyond commercial practice on the health and  
3 safety aspects. And I think our requirements show that.

4           And if you look at DOE, DOE requirements,  
5 especially related to the health and safety, we do things  
6 that we would never dream to do when I was in the commercial  
7 end of things--the reporting, the review of why something  
8 happened, how it happened, how we can make sure it doesn't  
9 happen. We never went into any kind of the extent that I see  
10 within DOE from a commercial standpoint. So I think it's  
11 important to note that, that we're going well beyond  
12 commercial practice in the health and safety areas.

13       MR. IVAN SMITH: I just don't see how that affects the  
14 purchase of a conveyor belt. The health and safety practices  
15 as performed in the industry today has absolutely no  
16 implication as to the purchase of this conveyor belt here at  
17 all.

18       MR. STUCKER: Well, it could be dealing with the fire  
19 suppression, those type of related aspects. You know, I'm  
20 sure well beyond what--

21       MR. IVAN SMITH: To me, in a situation where any type of  
22 fluid is being prevented from being placed into--for example,  
23 oil and waters and such and so forth--to go ahead and place a  
24 fire suppression system that could inadvertently flood the  
25 whole tunnel seems to me is incongruous.

1 MR. SAUNDERS: Just one more comment on that fire  
2 suppression system. Basically, we're following what is  
3 standard practice on that. We also have not only commercial  
4 tunneling applications we have to follow, but also there are  
5 DOE orders which direct us in certain directions as fire  
6 suppression systems go. One of those was an eight-inch main,  
7 a requirement for DOE facilities. I think we've got that  
8 reduced down to a six-inch now. But we've also had people  
9 saying, "The six-inch looks a little small. Maybe you should  
10 go back to an eight-inch," given what we have to do there.

11 DR. CORDING: A DOE facility, that was designed for, I  
12 would assume, DOE facilities which would be above ground  
13 structures.

14 MR. SAUNDERS: That's probably the case. However--

15 DR. CORDING: Why would that be applied to an  
16 underground structure?

17 MR. SAUNDERS: There's nothing that differentiates  
18 between the two. I don't think DOE has many underground  
19 facilities. I don't think anyone does.

20 DR. CORDING: But I mean it seems to me that that's an  
21 area where one can look at this, and safety underground is  
22 different than safety above ground in terms of what one has  
23 to do. It seems to me that those are some of the issues that  
24 you can narrow down things a little sooner in some of this  
25 and not have to go through all of those, because it really is

1 not--that regulation was not designed for an underground  
2 facility.

3           And there's been a lot of work in past years in the  
4 underground industry to improve safety. You go on a job now,  
5 it really takes quite a bit to get on the job and to make  
6 sure it's drug free and all sorts of things that they're  
7 doing now. And there's a lot of safety that's gone in. OSHA  
8 is in there, the government is involved in this. Sometimes I  
9 think some of the safety issues--some of the things one can  
10 do that might be a safety issue above ground is actually  
11 detrimental underground. And so I think that there needs to  
12 be a perspective on that.

13       MR. SAUNDERS: Yeah, we agree with you. We don't agree  
14 with everything that we have to do. However, trying to get a  
15 relief from those requirements is sometimes a little  
16 difficult.

17       DR. CORDING: I think we've seen that in some of the  
18 process and some of the presentation Alden Segrest gave  
19 yesterday of how to simplify some of that and all. I think  
20 that that's an area where there needs to be a look at this in  
21 terms of some of these things may be coming down from  
22 portions of the organization that don't have the experience  
23 in these areas, and there's some responsibilities at other  
24 levels that maybe aren't at the levels where they can  
25 effectively understand the issue or be able to make

1 decisions. I think that's something that the program needs  
2 to look at.

3 Dan Coss?

4 MR. COSS: Just on the matter of eight-inch fire line.  
5 For example, when I was a Field Operations Manager out in  
6 Area 12 operating DOE facilities and tunnels, a four-inch  
7 water line sufficed. So, you know, we question that type of  
8 stuff.

9 Also, Bob, you made one statement that the ground  
10 support would not impact TBM advance rates.

11 And I'm reading from Lance's document that he gave  
12 me this morning. He's saying that a bolting period of 34  
13 minutes is required for a Category 1 Williams bolting pattern  
14 that allows a maximum TBM rate of 2.65 meters per hour, or  
15 8.7 feet per hour, is a limitation imposed by your ground  
16 support. So if we had an opportunity to go faster, the  
17 ground support would restrict us.

18 DR. CORDING: I think that's something, again, that is  
19 one of those coordination areas that would be good to look  
20 at.

21 I know some of our people are having to leave  
22 early, particularly--specifically, rather, Robert Matyas.  
23 I'd like him to provide us with just a few of his views from  
24 the meeting he was with us eighteen months ago, and he's seen  
25 changes. And before he has to leave, I was wondering if you

1 might, Bob, summarize a few of your thoughts at this time.

2           MR. MATYAS: Thank you. In the eighteen-month interval,  
3 I can happily say I see a lot of improvement. Eighteen  
4 months ago, in my report, I did mention that there are a lot  
5 of talented people on this site. There still are. And it  
6 appears that there have been some additions.

7           I'm particularly impressed by Mr. Nelson's  
8 approach. In his mission, I wish him well. At least I agree  
9 with the direction he's taken in trying to define the  
10 problem. All I can do is pray for you, and I will.

11           The matter still exists of a lot of players on the  
12 field, and you've all got a very complex task to do. One of  
13 the phenomenon of human activity is--let me paraphrase it--if  
14 you were dealing with a Board of Trustees that numbered 45  
15 people and you were trying to get something done, that can be  
16 a tough task compared to a 5-member board or committee.  
17 Without pointing fingers at anything, there are a lot of  
18 players on this field, and just the subconscious obligation  
19 to keep track of them all has got to have a deleterious  
20 effect on you, the various management, just because you're  
21 only human.

22           The matter of the number of companies that are out  
23 at this site in various roles, I still think I need a  
24 guidebook to the players. I would encourage discussions.  
25 For example, when we talk about the performer contractors, if

1 there were some way to review the existing contracts, and see  
2 if they could be converted or transmuted into a conventional  
3 joint venture, then you'll be dealing with one contractual  
4 entity.

5           Those of you who heard me last time around, and  
6 even yesterday, you know that I'm a believer in incentives.  
7 I'm not very fond of award contracts. With the experience  
8 I've had with the underground community, this is an unusual  
9 group of folks. It's a very sophisticated business, but the  
10 human beings involved are very committed to attaining their  
11 goals. First of all, they want to know what's going on, and  
12 they'll join you in your engineering, scientific adventure if  
13 you'll allow them. They love challenges, and they generally  
14 are very successful at it if you give them enough credit to  
15 challenge them. I hope there's some way that you can move  
16 toward a more free market kind of arrangement in dealing with  
17 your suppliers and your customers.

18           Another thing that I--one of my pet concerns is  
19 just the fact that there are DOE regulations and DEERS and  
20 what have you, and various federal procurement rules doesn't  
21 mean that they can't be attacked. I don't mean attacked in a  
22 very negative way, but they should be evolving. You don't  
23 just buy them because they're there. You say, "Well, okay,  
24 we have no choice." If the senior management owns up to  
25 their responsibilities, part of the responsibility is to

1 evolve rules and regulations.

2           Let me conclude by saying, the basic simple rule  
3 is, get your money's worth out of this thing. It's always  
4 easy to complain about the availability of cash and cash  
5 flow, but it's the effective employment of that cash. I, for  
6 one, don't believe that you folks need to own any of this  
7 excavating equipment. It exists, it's out there. Try to  
8 employ it and challenge the people who own it.

9           Thanks.

10          DR. CORDING: Thank you. Perhaps, also, from our other  
11 consultants we could have some comments. I know that, Tony,  
12 you've been having some discussions on and are interested in  
13 the discussions on the equipment, the machines, and wondered  
14 if you had some concluding remarks.

15          MR. IVAN SMITH: Well, having been involved with the  
16 program for some time as an outsider looking inwards, it has  
17 always been schedule driven. And when I started with Sandia,  
18 seemed to be cost driven, and one of the inputs at that time  
19 was to always look at scheduling contingency. Well, what  
20 sort of is happening right now as we're pushing this thing up  
21 to actually starting to excavate is this contingency is being  
22 pushed forward and continuing to be pushed forward. So  
23 certain activities become, I think, much more critical.

24           This is where this conveyor business has come up.  
25 And there will be other activities. There will be, maybe,

1 problems with the tunnel-boring machine, problems with the  
2 ground. These are conditions that are going to have to be  
3 met to improve this contingency problem.

4           Bill Simecka made a comment earlier, which now he's  
5 back, he commented this as being a classic role of engineer  
6 and contractor and manager and owner. Maybe it's classic at  
7 the test site, or maybe it's classic in certain government  
8 activities, but it's not classic to the industry. Typically,  
9 contractors such as Peter Kiewit is well represented here,  
10 and Morrison-Knudsen as well, can perform to very tight  
11 contractor specifications and engineering drawings and meet  
12 those as a normal part of their daily business. So there's  
13 no uniqueness as far as this project's concerned in that  
14 aspect.

15           So there's no recourse under these situations.  
16 There's no real incentive for performance, because typically  
17 a contractor will be paid by his productivity and the quality  
18 of his work as a normal basis. We're getting on to the fact  
19 in the purchasing of this machine that we have right now some  
20 incidences in Canada, for example, the CN railroad. The  
21 large tunnel machine was specially purchased, identical in  
22 terms of concept of this machine, and it's now stuck  
23 underneath the river. It has some serious problems. What  
24 recourse does the owner have for that situation? As the DOE  
25 does here. The machine has been purchased through REECo, by

1 their specification, and from a reputable manufacturer. But  
2 when there are problems with the machine, what recourse is  
3 there. And this has also happened in Magma Copper. They  
4 purchased their own tunnel machine, and they're meeting  
5 difficult ground conditions, and the contractor is a  
6 reputable contractor out of Evansville, Indiana. But we have  
7 a conflict in terms of what real problems exist. So there's  
8 a danger in the future of this overburden of who bears these  
9 responsibilities.

10           The next comment is really task for task. I think  
11 that gets up to the critical thing as far as schedule, is the  
12 tunnel-boring machine and the performance of the machine.  
13 I've got some charts here, which I don't really need to bring  
14 out, but I can just comment that in my calculation of, say,  
15 approximately 600 meters a month, that would very much meet  
16 with what the performance schedule that Lance just presented.  
17 Traditionally, in conveyor operations, it's nearly double  
18 that. But that 600 meters a month would meet, basically,  
19 what occurred in Chicago. So, it's below average, but an  
20 acceptable limit. But right now, you're limiting to under  
21 400 meters a month for the next year. That is a significant  
22 amount of time that is being lost on this schedule.

23           And then the other comment was the purchasing of  
24 the machine, which is not really to try to go backwards on  
25 it, is the fact that this machine did cost a great deal of

1 money, in terms of approximately \$12 or \$13 million. And I  
2 don't know what the change orders were to that, but I'm sure  
3 there have been some adders to it. But in the marketplace  
4 today, a typical machine of this size should range in the \$8  
5 million range. A used rebuilt machine should be around \$4  
6 million, \$4 to \$5 million. And so there's a tremendous  
7 difference of burden in here. So if leasing is an option in  
8 the future, that's going to make a tremendous savings in  
9 terms of cost.

10           Looking at what Jean did yesterday, and she  
11 presented in terms of site suitability, once again is  
12 entirely dependent upon performance of the machine. So once  
13 again, schedule becomes the driver.

14           So I'd just kind of like to end in saying, to echo  
15 what Bob was saying, is that I know a lot of the people here.  
16 They're excellent, they're professionals, and it just needs  
17 to be tied together, and hopefully there will be a shorter  
18 management leash between the DOE and the actual man digging  
19 the rock can be reached. Thank you.

20           DR. CORDING: Okay. Jack Lemley, do you have some  
21 comments for us?

22           MR. LEMLEY: I think I'd like to start by agreeing with  
23 Bob Matyas and Tony Ivan Smith in their remarks. I  
24 particularly want to emphasize the positive impression that I  
25 had of Mr. Nelson's presentation and his efforts to improve

1 the management structure of the project. I think that's the  
2 one single aspect, if it's successful, that will give  
3 assurance to the program and the schedule and assure a value  
4 for money effort.

5           Just one other comment. Underground work is not  
6 necessarily enhanced either in terms of safety, productivity  
7 or any other way by oversophistication. You're dealing with  
8 people who have experience at a certain level with the types  
9 of equipment that are being purchased. And to raise that  
10 experience level is going to be very expensive and  
11 sophistication in a hostile environment sometimes can prove  
12 to be not an enhancement to safety but an increase in hazard.

13           Relative to whether or not certain rules and  
14 regulations should be applied blindly, I can't agree with  
15 that at all. I think there are proven risk analysis  
16 techniques that should be applied to all of these decisions,  
17 and not necessarily a blind following of a regulation that  
18 doesn't necessarily apply in a given circumstance. But  
19 whether or not the regulations apply, a risk analysis process  
20 is something that I would recommend for all of these various  
21 activities. But the simpler the systems can be kept, I think  
22 the better prospect of success you'll have.

23           DR. CORDING: Thank you. I wondered if there are any  
24 closing comments, remarks from the DOE. Bob Nelson, did you  
25 wish to add anything to our discussions at this point?

1           MR. NELSON:  If I could just say a couple of things.  I  
2 certainly appreciate the comments this morning on all of the  
3 aspects.  We're certainly going to try to do some things in  
4 the procurement arena.  I don't know what those are.  I've  
5 been an assistant manager for administration in past years,  
6 and there are ways through and around some of these things,  
7 but it's also a matter of picking the targets.  We can't take  
8 on every one every time, or we'll just die.  But certainly  
9 what I have in mind is taking on the conveyor as one thing  
10 that we can certainly try to do that and see if we can be  
11 successful.  And we can fail.  I mean, there is a bureaucracy  
12 that has to be dealt with.

13                 I must say, I'm very sensitive to the safety  
14 issues.  I've been what's called the test controller.  I have  
15 fired some 35 nuclear explosives at the test site.  And in  
16 doing that, I killed a REECo person at one time, and I didn't  
17 feel real good about that.  So I'm very sensitive to the  
18 safety issues, and certainly they are not going to be  
19 overlooked or lessened or whatever, at least in my way of  
20 doing business.  But I do think there are a lot of positive  
21 things we can do to improve that schedule, and certainly I'm  
22 going to try to do that.

23                 But again, we're going to pick the targets, and  
24 we've already started through that.  I don't know quite where  
25 that will lead us, and I don't know if we'll be successful,

1 but certainly that's something we're going to try.

2 DR. CORDING: Thank you. Any other closing remarks from  
3 our Board that they wish to make?

4 (No response.)

5 DR. CORDING: At this point, then, I'd just like to--  
6 Dennis, did you have--I'm sorry.

7 DR. PRICE: Yeah, I'm just going to make a closing  
8 remark related to the remarks in closing that have been made.  
9 Many of them are basically human factors and safety  
10 engineering and system safety analysis and hazard analysis  
11 and this kind of thing. And there's a number of things that  
12 could be applied to the design of the TBM, to the procedures  
13 that are going on and so forth. The Board has called for  
14 human factors and for system safety a number of times, and  
15 these things as yet are not being done. However, we're  
16 making progress.

17 DR. CORDING: Thank you. John, did you have any  
18 statements?

19 DR. CANTLON: Cantlon, Board. I would just commend the  
20 DOE for being candid and open with us. As our Board meetings  
21 have shown over the years, some of the discussions are a  
22 little sharper probably than they need to be, but I do think  
23 the process is a good one, a healthy one, and it helps us, I  
24 think, when we put our reports together. We can sometimes  
25 help solve some of your problems by bringing to light

1 unnecessary impediments, unnecessary additional costs and so  
2 on. So, hopefully, we're all headed in the same direction.  
3 And I must say it's been a useful exchange. Thank you.

4 DR. CORDING: Thank you. I also would echo some of the  
5 comments that have been made. But just to close, as we  
6 looked at this program today, in talking with the DOE and the  
7 M & O about scheduling, it was a relatively short period of  
8 time. We felt it was important at this time because there  
9 were so many things that were really critical issues that  
10 were being dealt with right at this time, and we wanted to be  
11 able to at least participate in learning about it and  
12 discussing it at this time.

13 And I think that it is a critical time for us to be  
14 able to have one last look at some of the plans for the  
15 initial construction. And we see that that is so much tied  
16 to the real goals here of assessing site suitability, and I'm  
17 very pleased that DOE and its contractors are interested in  
18 looking at this and finding the most effective ways of  
19 accomplishing those goals that are so important underground,  
20 things such as looking at the faults, the thermal testing and  
21 doing that work. So we're really hopeful that in the months  
22 ahead there will be a real working together here with the  
23 various organizations to be able to accomplish this  
24 effectively.

25 I want to thank you all for your attendance here

1 this morning, and we'll now, then, close the session. Thank  
2 you.

3 (Whereupon, the meeting was adjourned.)

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1