

UNITED STATES
NUCLEAR WASTE TECHNICAL REVIEW BOARD

PANEL ON THE ENGINEERED BARRIER SYSTEM:
REPOSITORY DEVELOPMENT AND DEFENSE HIGH-LEVEL WASTE

June 15, 1994
The Tower Inn and Conference Center
Richland, Washington

BOARD MEMBERS PRESENT

Dr. Donald Langmuir, Acting EBS Panel Chairman
Dr. John J. McKetta
Dr. Garry D. Brewer

CONSULTANTS

Dr. Ellis D. Verink
Dr. Dennis L. Price

STAFF MEMBERS PRESENT

Dr. William Barnard, Executive Director NWTRB
Dr. Carl Di Bella, Senior Professional Staff
Dr. Sherwood Chu, Senior Professional Staff
Dr. Leon Reiter, Senior Professional Staff
Dr. Daniel Fehringer, Senior Professional Staff
Dr. Daniel Metlay, Senior Professional Staff
Mr. Russell McFarland, Senior Professional Staff
Ms. Linda Hiatt, Management Assistant
Ms. Donna Steward, Staff Assistant

I N D E X

	<u>PAGE NO.</u>
Opening Remarks	
Don Langmuir, Acting EBS Panel Chair.	3
Ellis D. Verink	4
Nuclear Waste Technical Review Board (NWTRB)	
Welcome to Richland/Hanford	
Ronald Izatt.	11
Deputy Manager, Richland Operations Office Department of Energy (DOE)	
Waste Acceptance Requirements and Interactions	
Steve Gomberg	14
Office of Civilian Radioactive Waste Management	
DOE - Office of Environmental Management Perspective on the Hanford Waste Program	
William Levitan	27
Program Manager, Office of Hanford Waste Management Operations, DOE	
An Overview of the Tank Waste Remediation System (TWRS) Program and Recent Changes	
Donald Wodrich	37
Westinghouse Hanford Company (WHC)	
The Hanford TWRS Waste Disposal Program	
Steve Schaus, WHC	64
Disposal of Hanford Site Cesium and Strontium Capsules	
Edward Randklev, WHC.	87
Hanford's Spent Nuclear Fuel Project	
Jerry Ethridge.	118
Battelle - Pacific Northwest Laboratory	
Disposal Considerations for Surplus Weapons Plutonium	
Howard Canter	152
Surplus Fissile Materials Control & Disposition Project, DOE	
Sarvajit Sareen	173
Management and Operating Contractor	
Comments from the Public.	182
Round-Table Discussion.	187
Closing Remarks	

2 DR. LANGMUIR: Good morning. My name is Donald
3 Langmuir. I'm Professor Emeritus of Geochemistry at the
4 Colorado School of Mines in Golden, Colorado, and I serve as
5 Acting Chair of the Board's Panel on the Engineered Barrier
6 System. The EBS Panel instigated today's meeting.

7 First, let me introduce my colleagues; Dr. John
8 McKetta, who's Professor Emeritus of Chemical Engineering at
9 the University of Texas in Austin; Dr. Ellis Verink,
10 Professor Emeritus in the Department of Materials Science and
11 Engineering at the University of Florida; Dr. Dennis Price is
12 Professor of Industrial and Systems Engineering, Director of
13 the Safety Projects Office, and Coordinator of the Human
14 Factors Engineering Center at Virginia Polytechnic Institute
15 and State University, which many of us know as VPI.

16 Until their terms expired on April 19th, Dr. Price
17 and Dr. Verink were in the EBS Panel, and Dr. Verink chaired
18 that panel. Since April 19th, they have served the Panel and
19 the Board as consultants.

20 I would like also to introduce Dr. Garry Brewer.
21 He's Professor of Resource Policy and Management and Dean of
22 the School of Natural Resources and Environment at the
23 University of Michigan. Dr. Brewer chairs the Board's Panel
24 on Environment and Public Health, and is both a member and
25 acting chair of the Board's Panel on Risk and Performance

1 Analysis.

2 The only previous visit of the Board to the Hanford
3 area took place slightly more than two years ago. That, too,
4 was a meeting of the EBS Panel, and Dr. Verink chaired that
5 meeting. In the interest of continuity, he has agreed to
6 preside over this meeting, so I'm now going to turn the floor
7 over to Dr. Verink.

8 DR. VERINK: Thank you, Don. I hope I'm not going to be
9 the whispering monster today. I hope my voice will hold up.

10 I have a few more introductions I'd like to make.
11 At the end of the table to my left here is Dr. Bill Barnard,
12 who many of you know, and is the Board's Senior Professional
13 Staff Executive Director.

14 Several other Board staff members also are with us
15 today. Let me introduce them briefly, and ask them to raise
16 their hands and wave at you, also: Linda Hiatt, at the back
17 table there, is in charge of meeting arrangements. Donna
18 Steward, who is sitting next to her, is a member of the
19 support staff.

20 Most of you know Russ McFarland back there, who's
21 senior professional staff member, serving the Panel on
22 Structural Geology and Geoengineering. Dr. Dan Metlay, over
23 here, also a member of the senior professional staff. He
24 works on socioeconomic, institutional, international, and
25 other related sorts of areas.

1 Dr. Sherwood, better known as "Woody", Chu, over
2 here, senior professional staff member who serves the Panel
3 on Transportation and Systems. Dr. Leon Reiter, over here,
4 senior professional staff working in the areas of geology and
5 performance assessment, and Dr. Dan Fehringer, right here in
6 the middle, senior professional staff, working in areas of
7 health physics, environment, and regulatory analysis.

8 This Board, as many of you know, was created by the
9 1987 amendments to the Nuclear Waste Policy Act. The
10 amendments provide simply that the Board shall evaluate the
11 technical and scientific validity of DOE's activities under
12 the Nuclear Waste Policy Act. The Act itself was passed in
13 1982, as you know, and provides for DOE to develop
14 repositories for high-level waste and spent nuclear fuel by
15 following an orderly process of repository site
16 characterization, approval, and construction, and, as many of
17 you are aware, currently, only one potential repository site
18 is being evaluated. It's at Yucca Mountain. Site-specific
19 work for a second repository is not authorized, and cannot
20 be, under any current law, until at least the year 2007.

21 The high-level waste from reprocessing which exists
22 in many single-shell and double-shell tanks on the Hanford
23 reservation is eventually destined for deep geologic disposal
24 in solid form in one or more repositories, and, consequently,
25 that's our principal interest today. We want to know how the

1 waste will perform in a repository. In the last analysis,
2 that's the question. We want to know how the waste will
3 impact the repositories. Actually, this is kind of the final
4 test of the radiation protection standards for protection of
5 the human environment.

6 We want to know how much waste there is, what its
7 composition is, what sort of separation and solidification
8 treatments you're considering for it, how it might be
9 packaged before it comes to the repository. We are also
10 hoping to learn where DOE draws the line of responsibility
11 between the so-called EM and RW categories, which I presume
12 you're all very familiar with; whether this line is a
13 continuous one, or whether there are gaps in that line, and
14 whether all parties understand where this line of delineation
15 is and what it means.

16 We lasted visited Hanford in May of 1992. At that
17 time, if I recall correctly, there were some rather firm
18 plans, at least for the double-shell tank waste. My
19 recollection is that the low-level portion was to be made
20 into grout and disposed on site, while the high-level portion
21 was to be vitrified for deep geologic disposal in one or more
22 repositories. I think you were only a few weeks away, at
23 that time, from breaking ground for a mammoth vitrification
24 facility.

25 From what we read in the newspapers and the trade

1 press, the plans are now very different from what they were
2 two years ago. We would like to know what those new plans
3 are, and any impact that they could have on the ultimate
4 geologic disposal.

5 There's another major difference now from two years
6 ago. Two years ago, there were materials that had been
7 irradiated at Hanford production plants, but had not yet been
8 reprocessed to produce plutonium, uranium, and high-level
9 waste. At the time, it wasn't considered a so-called waste,
10 and, therefore, did not enter into the discussions.

11 Since that time, however, the decision apparently
12 has been made that the material will never be reprocessed,
13 and will instead be disposed of in deep geologic repositories
14 after appropriate conversion treatment and packaging.

15 We're very much interested in hearing about this
16 material: how much of it there is, what are its current form
17 and its composition, what may be done to ready it for a
18 repository, and what its impact on the repository may be. I
19 expect much of this is yet to be determined, but at least we
20 hope to hear what the process for developing plans for
21 handling this material might be, and when the plan might be
22 developed.

23 We're concerned about the impact of defense waste
24 on repositories. We're also concerned about the impact of
25 repositories on defense waste. Let me explain what I mean.

1 In theory, high-level defense wastes will be treated and
2 packaged so that they will meet repository safety standards.

3 In the case of tank wastes, treatment means that EM turns
4 it, or at least the high-level portion of it, into a solid,
5 something like a glass log, and that RW slips the log into
6 some kind of an overpack before disposal.

7 What is the performance allocation in meeting the
8 repository safety standards between a glass log and the
9 overpack? Have EM and RW agreed on this? Could it be that
10 they are each engaged in overkill? It could mean a lot of
11 money diverted from other, perhaps more important, projects.

12 Worse yet would be if each thinks the other's engineered
13 barrier is to provide the protection function if something
14 drops between the cracks.

15 We want to express our thanks to Richland's
16 Operations Office for the meeting today and the tour
17 tomorrow. I want, particularly, to thank Phil LaMont, and I
18 understand he's been working closely with the Board's staff
19 in arranging the meeting, and in setting up tomorrow's closed
20 tour. We realize that the repository is an important issue,
21 but does not have the immediacy at Hanford of other issues,
22 such as remediation.

23 Besides of question of plans to prepare and package
24 tank wastes for ultimate disposal, and the question of what
25 will be done with the irradiated but unprocessed material

1 to ready it for disposal, we have a third issue on today's
2 agenda. This is the issue of planning for the disposition of
3 surplus weapons plutonium.

4 We know that several proposals have been floated
5 regarding plutonium disposition, and these will involve
6 things on, near, and otherwise associated with the Hanford
7 reservation. But that's not at all why we are discussing it
8 in today's meeting. We are discussing it here today because
9 the technical topic of plutonium disposition falls within the
10 EBS, the Engineered Barrier System Panel's responsibilities
11 having to do with the waste form, because the topic is
12 timely, because plutonium is considered a defense waste and
13 the EBS Panel has not conducted a public meeting on the
14 subject of defense waste for more than a year, and because
15 the Panel does not plan to conduct another public meeting on
16 this subject for another nine months or so, so it just kind
17 of fits into the scheme of things in order to keep the
18 planning program going.

19 Two gentlemen from Washington, D.C. will address
20 the topic of disposition of surplus weapons plutonium at the
21 end of this afternoon's program. Like other defense wastes,
22 our interests are the same: how much is there, what is its
23 composition, what might be done to get it ready for disposal,
24 how will it impact the the repositories? Same questions.
25 This is a "hot" topic and we are all looking forward to it.

1 Now, tomorrow, a full day's tour of Hanford is
2 scheduled for the Board, its staff, and invited parties.
3 Phil LaMont will give us a few words about the tour later
4 today.

5 I know each speaker has much more to say in his or
6 her topic area than can be delivered in the time we're going
7 to have available, and I'm very concerned that we try to stay
8 on time so we can give every speaker a reasonable shot at it,
9 so, to the speakers, I say, let's try to keep it on schedule.
10 I'll give you a five-minute warning and a two-minute warning
11 so that you can make your plans. Try to reserve a little
12 time for questions.

13 In regard to questions, I will first be soliciting
14 members of the Board and staff for their questions, and, if
15 time permits, from the floor after each one of the speakers
16 has completed their presentation. I'm going to do my best to
17 stay on schedule, so if I don't get your question in, or your
18 comment, hang onto them. At the end, we're going to have a
19 final wrap-up and try to get everybody's input and questions
20 taken care of.

21 Are there any general announcements, Bill, or
22 anybody, that need to be made?

23 (No audible response.)

24 DR. VERINK: Okay. The first set of presentations,
25 then, before the morning break are overviews, and our first

1 speaker is Ronald Izatt, Deputy Manager of DOE's Richland
2 Operations Office.

3 The floor is yours, Ron.

4 MR. IZATT: My remarks are simple. I welcome everybody
5 here today. I welcome the Nuclear Waste Technical Review
6 Board, the support staff, the professional staff, the
7 stakeholders, and, perhaps most of all, the public. It's a
8 great opportunity that we have today for the Board to be
9 here, and we're looking forward for the next days with the
10 presentations, as well as the tour tomorrow.

11 Of course, the purpose here is to share
12 information, and we hope that by listening to the length of
13 questions that we've heard this morning, we think we're
14 prepared to at least address most of those topics in
15 completion.

16 I would offer to the Board that when you get
17 through to the end of the period, if you're still missing
18 some information, we're committed to support your needs, so,
19 as soon as you can give us the request, we'll be happy to try
20 to get that information in a timely manner.

21 Again, I'm Ron Izatt, the Deputy Manager at
22 Richland. Some of you, I've not had an opportunity to meet,
23 but lots of you are old-time acquaintances, having been, in
24 days gone by, the Monitor Retrievable Storage Program Manager
25 for the nation, which sited a facility in Tennessee, which is

1 still in standby, and also the Deputy of the Salt Waste
2 Isolation Project, I guess I have a piece of my life and my
3 heart associated with this program, and so it was a great
4 honor today to be asked to come and say the welcoming
5 remarks.

6 We specifically designed the weather here for you.
7 If you were here the day before, you would know that this
8 place about blew away, but we also have the Secretary of
9 Energy coming this evening. That's probably partially why
10 we've got the weather the way it is as well.

11 Listen carefully to the information that you want
12 to cover. I will tell you that of the topics, at least, that
13 we are prepared to address directly were, obviously, the
14 high-level waste tanks, but something that wasn't mentioned
15 this morning--at least I didn't hear it--was I want to talk
16 to you about strontium and cesium capsules, because, in our
17 defense waste EIS, there's an expectation that that will go
18 to the repository as well, as well as some of the spent
19 nuclear fuel that we have on site.

20 Again, I'll tell you that the plutonium and the
21 surplus weapons issue is something that's being addressed by
22 headquarters, and that's not really in the Operations Office
23 scope, so I'll just tell you that's a program that's outside
24 of Richland at this particular time.

25 One piece that was touched on was the changes to

1 the program since the last time you were here in the last two
2 years. I should tell you, those changes are not just casual
3 changes. Those changes are enforceable through the Tri-Party
4 agreement. We have an obligation, both in the Hanford tank
5 waste remediation system, which we call TWRS, and the spent
6 nuclear project that we have enforceable milestones and we're
7 about to get some more, especially in the spent fuel area,
8 and that puts the onus on us to make key decisions up front
9 on, obviously, the final waste forms, and that affects, of
10 course, the design, the construction, the operation of the
11 facilities, and the clean-up, and so this is an iterative
12 process.

13 We've talked briefly about the EM and RW
14 interactions. Their relationship is very closely tied, and
15 so, we're very, I guess, keenly awaiting what the Board's
16 recommendation might be to the Office of Civilian Radioactive
17 Waste Management, because what you might suggest, direct, or
18 encourage, can have significant impact on our program, and,
19 again, we are pushing very hard, and are being pushed by the
20 regulators--both the EPA, and, mainly, the state in this
21 area--to get on with the waste and get it to a better home,
22 and, ultimately, get it to a repository.

23 I'll tell you the concentration. There was one
24 comment that was made that perhaps we're concentrating more
25 on remediation than we are on this particular waste. I'll

1 just do it for you in rough dollars. We spend about \$1.3
2 billion working on the waste and the waste form, and we spend
3 about \$200 million on remediation, so, in terms of
4 perspective, I just want to tell you, you're where the action
5 is, and that's the emphasis, also, for the Hanford site.

6 I guess, in order to get you back on schedule, I'll
7 keep my remarks really brief and just thank the DOE,
8 Westinghouse and PNL staff, and the presenters who will be
9 discussing topics with you later today, as well as the
10 presenters tomorrow when you're on tour, and just thank them
11 for the support, and, again, I thank Phil LaMont for
12 orchestrating this.

13 For those who may not know, it seems like of all
14 the people left in Richland, Phil and I are probably the ones
15 that have been associated with your program the longest, and
16 so, it was nice when he came back and touched me again for
17 the opportunity.

18 So, on behalf of John Wagner and the Hanford
19 employees, welcome to the Board, and to the staff, and,
20 again, to the general public, and thank you very much.

21 DR. VERINK: Thank you very much.

22 Our first speaker will be Steve Gomberg.

23 MR. GOMBERG: Thank you, Dr. Verink. Let me thank the
24 Board for giving me the opportunity to speak here today, and
25 let me also reinforce Ron's point about we are working hard

1 to foster EM and RW cooperation on these issues.

2 What I wanted to talk about today was to provide an
3 overview of the documentation that we've established between
4 the EM and RW on the waste acceptance requirements, and,
5 also, to describe briefly some of the key interactions we've
6 had with EM in implementing the process that these documents
7 embodied, what we sometimes loosely call at least a key part
8 of the waste acceptance process.

9 I'm going to digress a little bit, because I think
10 most of the Board members are probably familiar with this
11 aspect of the, what we call the technical document hierarchy.

12 This is the RW top-level technical requirements baseline.

13 The top level is the Civilian Radioactive Waste Management
14 Requirements Document. We call it the CRD, and the CRD
15 identifies all the statutes, regulations, DOE orders,
16 executive orders, whatever, that are applicable to the
17 development and operation of RW equipment and facilities.

18 The key four system elements are covered at the
19 next level, within the Civilian Radioactive Waste Management
20 System. Those are the acceptance, transportation, storage,
21 and disposal elements. The one I want to focus on for the
22 waste acceptance issues is the technical baseline document
23 that establishes the requirements for acceptance of waste
24 forms into our system, and that's the Waste Acceptance System
25 Requirements Document.

1 The Waste Acceptance System Requirements Document
2 is composed of three groupings of requirements. The first
3 set of requirements are interface/contractual requirements
4 that apply to all of the waste producers whose wastes will be
5 coming into our system. They include quality assurance,
6 documentation requirements, contractual requirements, top-
7 level interface requirements, and training.

8 I'm not going to focus on the spent nuclear fuel
9 requirements. Those, however, are applicable to commercial
10 spent fuel. Primarily, they're derived from the standard
11 contract 10 CFR Part 961, and, in addition DOE spent fuel
12 will also entail the development of specifications, and those
13 will be developed. Those are not currently in the document
14 right now.

15 The high-level waste requirements apply to,
16 currently, the vitrified high-level waste specifications. At
17 one time, they applied to the Hanford waste vitrification
18 plant, which was under development a couple years ago, as was
19 alluded to earlier. And then other high-level waste form
20 specifications, we can identify waste forms and get some
21 characteristics. Then they would be incorporated into the
22 baseline documents.

23 In a sense, the high-level waste requirements serve
24 three basic purposes as far as the Civilian Radioactive Waste
25 Management Program is concerned. The first is to provide

1 minimum acceptance criteria--and I'll talk about that on the
2 next page--the second is to provide us with a design envelope
3 and interface information, because the waste form is one of
4 the key interfaces between EM and RW, and, ultimately, that
5 will be what needs to be isolated from the public.

6 The third is to provide general canister waste form
7 characteristics to provide us with information, and to give
8 us the allocation of performance that needs to be met by the
9 overall, either the engineered barrier system, or the entire
10 underground facility to meet the NRC and EPA requirements.

11 What I'm trying to do now is give a little more
12 detail on the high-level waste requirements, give some
13 examples of what they are. We tended to break them up in
14 some very generalizing forms.

15 The only requirements right now that we have
16 specifically on the waste forms, which I'll call the minimum
17 acceptance criteria--the waste requirements say that if the
18 waste form doesn't meet any of these five conditions, it will
19 not be accepted into the waste management system. These are
20 directly taken from 10 CFR 60.135, those requirements
21 applicable to the waste form, or where the waste form has a
22 key allocation in the ability of the engineered barrier
23 system or the repository to meet its performance objectives
24 under Part 60.

25 Primarily, the waste needs to be solid. It needs

1 to be consolidated. It needs to be reduced to a non-
2 combustible form. In addition, there should be no free
3 liquids in such an amount that would compromise the ability
4 of the facility to meet its performance objectives, or that
5 there be no explosives, pyrophoric or chemically-reactive
6 materials such that would contribute to the facility not
7 meeting its objectives. These requirements apply to all
8 waste forms.

9 Now, specifically, for vitrified high-level waste,
10 we've identified a term called the standard form. The
11 standard form, primarily, are the physical characteristics of
12 the waste, and they provide us with a design envelope, the
13 idea being that when we design a facility to transport or
14 dispose or handle the waste forms that we will be getting
15 that are vitrified, that we have some sort of envelope on the
16 characteristics of the waste so that we know what we're
17 getting, basically, and they include things like--the current
18 standard form for vitrified high-level is a borosilicate
19 glass in a 304L austenitic stainless steel canister. There's
20 length, diameter, weight, fill height requirements, heat
21 generation, temperature, and leak rate.

22 In addition, we require all waste producers to
23 report certain information, and this will be used to design
24 and to determine the overall performance of the facility.
25 Primarily, they are chemical, radionuclide specifications,

1 and the canister material and fabrication methods so that we
2 know that that won't impact the ability of the repository to
3 isolate waste.

4 Now, this is vitrified high-level waste
5 requirements. I want to point out that that's the way
6 they're currently described in the document. However, these
7 are key concerns that would apply to any waste form, and
8 would need to be addressed accordingly. Criticality safety
9 is a big issue. The compatibility between the waste form and
10 the canister is a big issue, the stability and the integrity
11 of the waste form. Hazardous waste determination under the
12 Resource, Conservation & Recovery Act is also required.
13 That's incumbent on the waste generator to provide that, and
14 a product consistency test, which gives a general idea, at
15 least in the short-term performance of the glass, to ensure
16 that it meets certain requirements, compared to a bench mark
17 glass that was the basis for borosilicate, and that we feel
18 is a very durable glass product.

19 In addition, there are specific requirements on the
20 canistered waste form. Those include the various type of
21 requirements we've set forth here: canister impact
22 characteristics, labeling requirements, handling features so
23 that they can be accepted into the facility and handled, and
24 consistent designs that we plan for our handling equipment.
25 Also, during shipment and handling, we need to have certain

1 limits on dose rate, external contamination, the physical
2 condition and the contents of the canister at closure, and,
3 at the time of acceptance--what we refer to here as "at
4 shipment."

5 And, in addition, we have other requirements for
6 records, QA requirements, and various other things that I
7 have talked about earlier. We've sort of created two
8 additional terms. I've talked about the standard form.
9 We've sort of tweaked the contract, the standard contract,
10 which has standard and non-standard form, in order to deal
11 with the specifics of high-level waste, and we've created a
12 non-conforming and a non-standard form.

13 The non-standard form is basically a waste form
14 that doesn't meet the currently accepted standard form of the
15 waste. That requires special disposition when that is
16 identified to accept into our system. Non-conforming are
17 those wastes which specifically do not comply with the
18 specific performance or technical requirements in the Waste
19 Acceptance System Requirements Document.

20 Now, that was the RW side. What I want to lay out
21 here is the hierarchy of joint RW/EM documents, which
22 ultimately determine how the waste form is designed.

23 The top-level EM baseline document is called the
24 Waste Acceptance Product Specification. We refer to that as
25 the WAPS. The WAPS is the top-level EM document. That takes

1 all the requirements that are allocated to the waste
2 producer, and flows them into the WAPS. In addition, any
3 other requirements that EM needs to establish on the
4 producers are identified in that document, and that, then,
5 forms the top-level control set of requirements.

6 The producers then prepare waste form compliance
7 plans, which provide a detailed description of how the waste
8 producers plan to show compliance with the requirements in
9 the WAPS. These documents are all controlled within the
10 respective offices, change control boards, and reviewed in
11 accordance with quality assurance procedures, and I'm going
12 to talk about that a little bit later.

13 Now, as I said, the EM WAPS translates the RW
14 requirements, provides requirements on the waste form
15 producers, and, currently, it's tailored for the defense
16 waste processing facility at Savannah River and the West
17 Valley Vitrification Plant in New York. Those are the two
18 facilities that are the closest to operations, and those
19 facilities are designed right now to produce a vitrified
20 borosilicate glass product.

21 As I said before, the requirements in the WAPS, at
22 one time, were applicable to the now on-hold Hanford Waste
23 Vitrification Plant. And also, then, the Waste Form
24 Compliance Plan, which is the bottom of the RW/EM hierarchy,
25 outlines the plans for compliance with each specification,

1 and provides compliance strategies, and it also identifies
2 what is required for objective evidence.

3 Now, the objective evidence is going to be compiled
4 in something called a Waste Form Qualification Report, a WQR.
5 That is not formally part of the joint technical baseline,
6 but is also a very important document that is managed by EM.

7 And so, these four documents, in a sense, form the
8 technical part of the waste acceptance process to ensure the
9 integration between EM and RW. The important point to make
10 is these requirements are not fixed. They represent a
11 baseline in any given time, and we refer to the process as
12 one that allows the integration, the communication between
13 both of our offices to ensure, primarily, that we know what
14 we're receiving, they know what requirements we impose, and
15 then if we need to have changes, that no one is ever
16 surprised that there is a change, and these are all very top-
17 level documents within both of our programs.

18 Now, the next part is going to talk a little bit
19 about the formal interactions and the other interactions that
20 we have with EM and RW. I've tried to focus primarily on
21 those that I think are relevant to Hanford. As you can
22 guess, there's not as many, because DWPF and West Valley are
23 much farther along in actually identifying a physical form
24 that we would accept into our system.

25 On April 4th, EM-1 and RW-1 signed a memorandum of

1 agreement for control of the technical baseline documents,
2 the four documents I previously talked to you about before.
3 The first set is it established requirements for review of
4 the technical documents, and that is that they are reviewed
5 in accordance with the appropriate quality assurance
6 procedures of the offices conducting their reviews.

7 RW uses a quality assurance procedure to do
8 technical document reviews, and EM has participated in those
9 technical reviews.

10 EM has interpreted the document review requirements
11 a little differently, which is perfectly fine, and they've
12 created a technical review group. There are several
13 technical review groups. Those are the standing bodies of
14 people who are responsible for the technical reviews of EM
15 quality-affecting documents. The particular technical group
16 that we are discussing in this MOA is the Waste Acceptance
17 Technical Review Group. There are others.

18 In addition, we allow for participation in each
19 other's change control process. EM and RW are both members
20 on the other's corresponding change control boards. In
21 addition, RW is working to establish an interface control
22 working group, which will be the group of experts
23 representing all of the affected system elements, and to
24 ensure that there is one controlled set of documents, and a
25 point of contact for resolving joint issues, and they would

1 basically do it through this formal interface control working
2 group, and EM can call meetings, and is expected to attend
3 meetings whenever we discuss waste acceptance issue, to
4 ensure that their issues and points are addressed.

5 In addition, we have quarterly RW and EM waste
6 acceptance meetings to discuss general issues and points of
7 resolution, or status.

8 Now, other interactions which occur regularly--
9 they're not as formalized as this MOA--we have been working
10 with EM to support some of the options that they've been
11 developing on the tank waste remediation issues. We've been
12 looking primarily at impacts--there's not a slide up here, so
13 if you're looking for it, don't; you won't find it--impact on
14 disposal fees, general disposal performance, transportation
15 issues, various things that are joint issues across both
16 organizations.

17 We've been supporting some interactions with EM
18 with the NRC. An example is the recently-closed comment
19 period, I think, on the dual containment exemption under 10
20 CFR Part 71.63, which are the transportation requirements for
21 20 Curies or greater plutonium.

22 In addition, we have another MOA with EM, which
23 allows us to provide quality assurance audits and
24 surveillances of their activities, and, also, we are working
25 on a comprehensive memorandum of agreement. The MOA that

1 we're discussing here, the technical baseline MOA would also
2 be incorporated into that comprehensive MOA, which would be
3 the formal total waste acceptance process.

4 I wanted to talk about two last things, which I
5 don't know if you really want to hear about, but I wanted,
6 for completeness, to discuss them. Obviously, EM has another
7 major responsibility, and that is to dispose of all the
8 intact DOE spent fuel. There's various other forms of fuel
9 out there; research reactor fuel. The list goes on and on.

10 We hope to develop an MOA similar to the high-level
11 waste acceptance technical baseline documents with EM on the
12 other DOE waste forms. We've been supporting EM through EM-
13 37, John Jicka's office on DOE spent fuel exchanges, and
14 their meetings with their stakeholders. We've also reviewed
15 and provided comments on the DOE Spent Fuel Program's quality
16 assurance program, and on the program plan.

17 Now, in addition, I wanted to talk a little bit--
18 very shortly, we, also, are planning on conducting a system
19 study. It's, I guess, a parametric study or a sensitivity
20 study to try to assess the impacts of high-level waste
21 options currently under consideration on the Civilian
22 Radioactive Waste Management System.

23 The key uncertainty right now is on Hanford. We
24 have a pretty good handle, we think, on DWPF and West Valley,
25 and so, the purpose of this is to look at alternatives and

1 various other issues for identification for various waste
2 forms that Hanford might produce, and also assess the
3 impacts, such as the key things: the number of canisters,
4 the type of waste, the size of the canisters, and then
5 various pickup schedules of how that would affect the system,
6 that we start actually accepting the waste into our system.

7 Basically, then, in summary, I think what I've
8 tried to show here is that we have a close working
9 relationship with EM, and we're working to develop a
10 controlled set of waste requirements, and to work with them
11 to resolve associated issues that will affect both of us.

12 With that, I'll open it up to any questions.

13 DR. VERINK: Any questions from the Board? Yes, Dennis?

14 DR. PRICE: Steve, on your system studies to identify
15 alternatives, could you be a little more specific about what
16 alternatives? Are you talking about alternatives with
17 respect to thermal loading and that kind of thing, or other
18 alternatives, other than repository things?

19 MR. GOMBERG: Until we know specifically a little bit
20 more about the characteristics of the solidified Hanford
21 waste form, we're somewhat limited in what we can study. So,
22 what we're trying to look at are more of the macro issues
23 that we see have major drivers on our program from the
24 standpoint, for instance, of disposal fees, overall
25 repository impacts, and overall transportation impacts.

1 So, the key things that will affect that will be
2 the number of canisters that ultimately will be received.
3 I've seen numbers anywhere from, I think, 20,000 to 60,000
4 canisters. There's various options being considered right
5 now for even just the basic sizes of the waste form. So,
6 we're trying to just provide some parametric information so
7 we'll be in a better position to respond quickly to EM when
8 they request us for information as how the options they want
9 to pursue and the design alternatives will affect our system,
10 and these three were the key macro impacts that we were going
11 to discuss.

12 Of course, when we get more information, then we
13 can look at it from the standpoint of the performance
14 allocation within the repository, and how that would impact
15 that, or within a repository, and how that would impact that.

16 DR. VERINK: Thank you very much, Steve. I think, in
17 order to keep the schedule, we'll have to move along.

18 Bill Levitan is our next speaker.

19 MR. LEVITAN: My name is Bill Levitan. I'm with DOE
20 headquarters in the Office of Hanford Waste Management
21 Operations. That's within the Office of Environmental
22 Management, and this morning, I'd like to talk about our
23 perspective on the Hanford Waste Management Programs from
24 headquarters.

25 At headquarters, one of our major functions is to

1 formulate policy, and then, based on that policy, pass
2 program guidance and direction down to the field, and to give
3 you a perspective on some of that direction, I'd like to talk
4 about some of the major factors that help formulate our
5 program, and that, in turn, form the basis for the guidance
6 we pass on down to Hanford, as well as other EM sites.

7 And, to do that, I'm going to first talk about our
8 EM organization, for those of you who are not familiar with
9 it, as well as the organization with EM that's directly
10 responsible for some of the issues that you're interested in
11 today, talk about the programmatic and legal drivers, then
12 the budgetary perspective, and, finally, I'll briefly touch
13 on the programmatic implications. I'll leave that in more
14 detail for the speakers that'll be talking later in the day.

15 Within EM, under our Assistant Secretary, Tom
16 Grumbley, we have nine offices. The top five here are mainly
17 cross-cutting type offices. We have one dealing with
18 planning, another one on public involvement, one on risk
19 management--we're moving a lot more towards looking at our
20 program in terms of risk--an administrative group, and one
21 that deals with technical support and program integration.

22 Then we have the four program offices, if you will.
23 These offices are responsible for program formulation,
24 budgeting. We oversee the program implementation, as well,
25 and provide guidance.

1 The Office of Waste Management is responsible for
2 managing waste within the DOE system after it's been
3 generated. We develop treatment, storage, and disposal
4 facilities, as well as operate them, and the examples that
5 we're talking here today about, spent fuel, and defense high-
6 level waste in the tanks, that comes under the Office of
7 Waste Management, as does the cesium/strontium capsules.

8 Office of Environment Restoration, EM-40, is
9 responsible for the clean-up of past practice wastes. This
10 includes both environmental contamination, as well as
11 decontamination and decommissioning.

12 The Office of Technology Development is responsible
13 for developing cross-cutting technologies that can be used
14 throughout the complex, and to help us do our job quicker,
15 cheaper, and more effectively.

16 And the last program office is the Office of
17 Facility Transition and Management, and they're the ones that
18 are responsible for receiving facilities from other programs
19 that are excess or surplus, and then transition them either
20 for beneficial re-use, or for clean-up. An example here at
21 Hanford is the PUREX facility.

22 I'd like to just key in the Office of Waste
23 Management, EM-30. They're the ones that I've mentioned are
24 responsible for the management of waste after it's been
25 generated. This office is organized mainly geographically.

1 There are some exceptions. We have an eastern, a western,
2 and then the WIPP office, a program integration office, but
3 key to your visit here today and tomorrow are these two
4 offices, the Office of Hanford Waste Management Operations,
5 of which I'm a part, and then the Office of Spent Fuel
6 Management.

7 The Office of Hanford Waste Management Operations
8 is basically the headquarters program office responsible for
9 Hanford waste management, including the tanks, cesium,
10 strontium, spent fuel.

11 The Office of Spent Fuel Management, which Steve
12 referred to, EM-37, they're a cross-cutting office. They
13 coordinate complex-wide spent nuclear fuel issues. As Steve
14 talked about, they're the ones that deal with RW and
15 development of some of the criteria. They also are looking
16 at some NRC licensing requirements. They also form the top-
17 level planning and policy for spent nuclear fuel within EM.
18 That policy is then implemented by the program offices in the
19 sites.

20 Next, I'd like to talk about the programmatic and
21 legal drivers, and they are the major factor, really, that
22 shapes our program, and I'll talk about each of these six
23 individually.

24 The first is the EM goals, and these were set forth
25 very early on by our Assistant Secretary. These six goals

1 provide the guiding principles and priorities, if you will,
2 of our program, and probably of most interest here today is
3 Goal No. 1, which is managing and eliminating the urgent
4 risks and inherent threats in the DOE system. And,
5 specifically, what Mr. Grumbley is referring to there is the
6 high-level waste tanks here at Hanford, as well as the spent
7 nuclear fuel throughout the complex.

8 The second goal is to have a very skilled work
9 force that's committed to health and safety, and that
10 incorporates health and safety practices into their normal
11 way of doing business.

12 Goal three is dealing with the implementing of
13 rigorous planning, budgeting, and contract control system,
14 such that we can be in control managerially and financially.

15 The fourth goal is to be more outcome-oriented, and
16 by that, is to produce results efficiently, cost-effectively,
17 in a risk-based fashion.

18 The fifth goal is to have a focused technology
19 development program, and by that, we are identifying those
20 types of technologies that we will get the most bang for the
21 buck. We've identified, currently, five areas that are of
22 major interest, one of which is dealing with high-level
23 waste.

24 And the sixth goal, which is evidenced, I think, by
25 the meeting here today, is involving our stakeholders and the

1 public in our process, and that includes both assisting the
2 public in understanding our program and our challenges, as
3 well as involving them in the options analysis, and
4 developing the options that'll help us meet those challenges.

5 Here at Hanford, the major driver is the Hanford
6 Federal Facility Agreement and Consent Order, otherwise known
7 as the Tri-Party Agreement, or TPA. That was initially
8 signed back in May of 1989, and its purpose was to achieve
9 compliance with RCRA, CERCLA, and other corrective actions,
10 and, at that time, when it was signed, or specifically
11 excluded, I guess, the waste contained in the single-shell
12 tanks, and it did not address the K-Basins, where the end
13 reactor fuel is currently stored.

14 Back last summer, the Tri-Party Agreement was
15 renegotiated, and then it was signed in January of 1994, just
16 this January, and probably the two big things that changed in
17 it were that it now incorporated all 177 high-level waste
18 tanks, and it also incorporated the K-Basin clean-out, and,
19 specifically, there are two milestones in there.

20 Let's see, M-51, I think it is, is the first one
21 that requires that high-level waste vitrification be
22 completed in December of '94--or, I'm sorry--December, 2028.
23 There are several interim milestones along the way, and,
24 also, as an interim milestone within M-34, is the K-Basins be
25 cleaned out.

1 There are several safety requirements, also, that
2 are brought upon the site here, and with the time it takes, I
3 won't go into too much detail on them. One is with the
4 Defense Nuclear Facility Safety Board. They're a board much
5 like you. They were set up by Congress. They report to the
6 President and Secretary of Energy on public health and safety
7 issues associated with the defense complex here at DOE, and
8 there have been five recommendations that the DNFSB has come
9 up with.

10 Several of them deal with the tanks. As you can
11 see, the first four are basically dealing with the tanks,
12 some of the safety issues that they felt merited some
13 attention; in some cases, actually accelerating the program,
14 in the case of tank waste characterization. And, most
15 recently, just last month, 94-1, it applied pretty much to
16 many facilities in the complex, but the DNFSB was
17 recommending that we accelerate remediation of some of the
18 issues in the complex, and here at Hanford it specifically
19 talked about accelerating the K-Basin program and its clean-
20 out.

21 Also, the Secretary of Energy came out with six
22 safety initiatives back in '93, in the fall of '93, and,
23 basically, these initiatives were for actions that we were
24 already aware of. They were basically trying to highlight
25 them and to accelerate the resolution of them, and listed

1 here are the six issues, and it set up a formalized series of
2 actions with schedules to get these issues resolved.

3 With regard to spent nuclear fuel, back on August
4 of last year, the Secretary set up a working group to perform
5 a comprehensive baseline assessment of the environment,
6 safety, and health vulnerabilities associated with storage of
7 spent nuclear fuel throughout the complex.

8 The working group visited 66 facilities at 11
9 sites, and they issued their report in December of '93, and,
10 in that report, they identified 105 vulnerabilities. One was
11 subsequently identified, and so, 106, and of those 66
12 facilities, eight were identified as high priority, meaning
13 that they deserved management attention and immediate action.

14 There were, I think, about 33 vulnerabilities
15 associated with those eight facilities, and three of those
16 facilities are here at Hanford; K-Basins, PUREX, and the 200
17 West Burial Grounds, and those three incorporate about 18
18 vulnerabilities. There are also six other facilities at
19 Hanford, and they are of lower priority, and, right now, many
20 of these actions were already known. The actions plans are
21 being developed and implemented; for example, with K-Basins
22 as the TPA milestone indicates the clean-out of it.

23 There are several other drivers. I talked about
24 RCRA and CERCLA, and the Federal Facility Compliance Act
25 deals with mixed waste treatment. That'll bring a lot of

1 resources to bear over the next several years. NEPA, and the
2 records of decision, we've got several major NEPA documents;
3 the complex-wide EIS for waste management environmental
4 restoration, complex-wide spent nuclear fuel, and here at
5 Hanford, both the spent nuclear fuel EIS and the TWRS/EIS.

6 The Atomic Energy Act authorizes DOE to manage its
7 waste. We do that with the help of our DOE orders, many of
8 which are undergoing, or being promulgated as regulations,
9 and, of course, the Nuclear Waste Policy Act, wherein we are
10 provided the ability to dispose of our waste at the
11 repository.

12 With all those drivers, I just want to briefly talk
13 about the budget, since the budget more or less is very
14 reflective of policy, as well as program. I'm getting three
15 years' worth here, so you get an idea as to the trend, 1995
16 being the Congressional request, and will probably be
17 changing.

18 EM started in 1989, so it essentially went from a
19 budget of zero to \$5 million in those four years, but in
20 the last two years, and, in fact, in our formulation for '96,
21 it's beginning to flatten out.

22 Hanford, specifically EM, which is all those
23 programs, the restoration, the waste management and facility
24 transition, it's seen a lot of growth as well. With the new
25 TPA, we're seeing a large increase between '94 and '95, and a

1 lot of that, as you can see, is due to the Hanford Tanks
2 Program, the safety issues, the TPA.

3 Spent fuel was seeing a modest increase, probably
4 more than the average, but, in fact, with the increased
5 visibility, the program has really increased in priority, so,
6 although in '94 it was budgeted at 38.1 million, there will
7 be a lot of reprogramming efforts because of the increased
8 program priority that'll bring the budget up to 56.3, and
9 then for '95, we're going to be looking, also, at a possible
10 re-programming because of the expedited program that we're
11 going to undertake.

12 I just have one more slide, and this is the
13 programmatic implication of the repository, and, obviously,
14 we recognize is the end state for our waste, for the high-
15 level waste and the spent nuclear fuel, and, as Steve talked
16 about, there are many parameters that impact our program,
17 that basically impact the upstream requirements.

18 Disposal fee estimates, they have an impact in
19 terms of, for example, our pre-treatment; to what extent do
20 we pre-treat in terms of reducing waste volume? The timing
21 for waste transfer and repository acceptance will affect our
22 storage facilities, both in terms of their sizing and their
23 design life; and, finally, the technical specifications and
24 quality assurance requirements, a myriad of things. They are
25 canister size, glass performance.

1 And these types of issues are very important to us
2 because they do drive back on our program, and, as Steve
3 talked about, we're using those mechanisms of the memorandum
4 of agreement, fairly high-level meetings with RW and EM to
5 really work towards resolving these issues.

6 DR. VERINK: Thank you very much, Bill. I think in the
7 interest of keeping the schedule, we'll defer any further
8 questions for you at this time.

9 MR. LEVITAN: I planned it that way.

10 DR. VERINK: Good planning.

11 And our next speaker is Don Wodrich. Pleased to
12 have you, sir.

13 MR. WODRICH: My name is Don Wodrich. I work for
14 Westinghouse Hanford Company on the tank waste issues at
15 Hanford.

16 What I want to do this morning is give you some
17 information on three or four different subjects. One:
18 First, some historical Hanford operations, a little bit about
19 that, that generated the waste; a brief description of the
20 Hanford tank waste; what our past plan for tank waste
21 disposal was, the changes to those plans; and what the
22 current plan and milestone changes are. So, I'll go through
23 it in that order.

24 This, of course, here is the Hanford site in the
25 State of Washington, along the Columbia River. Let me show

1 you a blow-up of the Hanford site. Of course, you're down
2 here in Richland. The Hanford site is divided into things we
3 called areas, the reactors being in 100 areas along the
4 Columbia River, and the spent fuel that you're going to be
5 talking about is here in the east and west area, the bulk of
6 it. The tank wastes are here in the center of the site, on
7 the plateau, in the 200 east and west area, so all the
8 Hanford tank wastes are located there, and, of course, you
9 can see some of the other areas on the site.

10 The 300 area was a research and development area
11 for the site; also, where the fuel was manufactured that went
12 to the reactors, and the 400 area is a Fast Flux Test
13 Facility, which is a test reactor.

14 What I'm going to show you now is when the plants,
15 major plants operated here at the site, which generated the
16 wastes. So, across the top, you can see the years of
17 operation, and down the side, the different facilities, and
18 the red bars indicate the time frames in which they operated.
19 So, we have had nine production reactors over the years, the
20 latest being the N reactor, which was shut down in about '87.
21 The bulk of the other reactors shut down in the sixties and
22 early seventies.

23 We have two major test reactors here on the site,
24 the plutonium recycled test reactor in the 300 area, which
25 operated in the mid-sixties, and the Fast Flux Test Facility,

1 that operated in the eighties, and into the nineties.

2 Spent fuel from the reactors then went to fuel
3 reprocessing plants in the 200 areas. We've had a number of
4 generations as they've evolved over the years. The first two
5 plants that were built, T plant and B plant, operated
6 starting in 1944 into the fifties. They were a batch, a
7 bismuth phosphate batch process and only recovered the
8 plutonium. The uranium went out with the waste to the tanks,
9 so they operated in that time frame.

10 The next generation was the REDOX plant. It was a
11 continuous solvent extraction process, started up here and
12 ran until the mid-sixties, and then the latest generation was
13 the PUREX plant, which started in the fifties, and ran into
14 the early seventies, was then shut down, and operated again
15 here in the eighties. So, that's the separations plant, and,
16 of course, they used different chemicals and had different
17 processes, so that impacted what the waste looked like.

18 One other set of facilities that have operated over
19 that period of nuclear material production, processing, the
20 UO₃ plant, or uranium trioxide plant took uranyl nitrate from
21 the REDOX plant and the PUREX plant, and converted that to
22 oxide powder that was shipped off site for making new fuel,
23 and it operated in conjunction with those separations plants.

24 Plutonium finishing plant, which is used to convert
25 plutonium nitrate solution to metal also had weapons

1 production, fabrication, and component fabrication for
2 plutonium parts through part of its career, and also, a lot
3 of plutonium recovery work, operated in this period, is down,
4 and we expect to run it again a little bit to clean up the
5 plant.

6 The U-Plant uranium recovery, as I mentioned, the
7 first separation plants discharged the uranium out with the
8 waste, and so, in the mid-fifties, there was a process
9 started up and we sluiced the waste out of the tank and
10 brought it into the U-Plant, and used a tributyl phosphate
11 process to recover the uranium, and so that's what that was.
12 And, of course, fuel fabrication for the reactors,
13 paralleled the reactor operation.

14 In the waste processing area, we've also had a
15 number of operations which contributed their set of chemicals
16 to the waste tanks, and that's why I mention them. Waste
17 scavenging occurred in conjunction with uranium recovery
18 here, because as they recovered the uranium, the waste volume
19 grew, so they'd take waste out of the tanks and recover the
20 uranium, and they had to add chemicals and things to it, so
21 the waste volume multiplied. They were running out of tank
22 space, and so they scavenged the supernates in the tank to
23 remove the cesium and strontium so they'd get low enough in
24 radiation level, radioactive level that you'd discharge to
25 the ground.

1 And so, this was a period in which ferrocyanides
2 were added to the tanks, and which resulted now in one of our
3 safety issues. It was a part of that process.

4 Then, in the sixties and seventies, we recovered
5 cesium and strontium out of the waste. We actually sluiced
6 wastes out of the tank, or pumped it out of the tanks into
7 the B Plant, and then extracted those two radionuclides and
8 put those in capsules. That was completed in the mid-
9 eighties.

10 And then, all through this period, was have run
11 waste evaporators, where that is a way of maintaining a
12 smaller volume of wastes in a tank so you don't have to build
13 so many tanks. If you pump waste out of a tank, run it
14 through an evaporator, boil off the water, return it to the
15 bottoms of the tank, and over this course of years we've had
16 a number of evaporators fulfilling that service.

17 All of those things had some impact on the waste
18 that's in the tank. The spent fuel, which was the source of
19 the radionuclides that entered the tank, this is a picture of
20 how much was reprocessed here at Hanford, showing the years
21 across the bottom, and the metric tons of uranium per year
22 that was reprocessed, about 100,000 ton in total. Three-
23 fourths of that went through the PUREX plant, and the peak
24 years were the mid-fifties to the mid-sixties, then none,
25 basically, through the seventies, and a little bit in the

1 eighties. So, that was the source of the waste.

2 This is kind of an overall flow diagram of the
3 radionuclides on the site. I just want to use it to point
4 out a couple of things. The major path was from the
5 production reactors, the radiated fuel coming to the 200 area
6 fuel reprocessing plants. Then the waste from that, primary
7 radionuclides are in the waste tanks and in the capsules,
8 strontium and cesium capsules, and this makes up the waste
9 that's included in the tank waste remediation system program,
10 so I'll talk about these two waste products.

11 The other one, of course, you're going to hear
12 about today is radiated fuel storage, the bulk of it being in
13 the K-Basins in the 100 areas, and then there's also a little
14 bit in the 200 areas, and I'm sure you'll hear about that,
15 and we have some at FFTF, that fuel, and there might be a few
16 pieces in the 300 area, but you'll hear more about that
17 later. So, those are the locations of the waste.

18 Now, what I want to focus on is the Hanford tank
19 waste part of it, and talk about it in three pieces; that
20 waste which is in the single-shell tanks--and that's just a,
21 single-shell means the way the tanks were designed, the older
22 tanks--the double-shell tank waste, and what's in the
23 capsules, so I'll go through each of those.

24 First, the single-shell tanks, we have 149 of
25 these, built from '43 until '64. They range in size from

1 55,000 gallons up to a million gallons. We have 16 in this
2 55,000 gallon size, and the others are a half-million, three
3 quarters of a million, or a million gallons in size. The
4 large ones are all 75 feet in diameter, reinforced concrete
5 structure with a carbon steel liner down the sides and across
6 the floor. The wastes were put in there in a high alkaline
7 state, because they are carbon steel tanks.

8 They're six to ten feet below the surface of the
9 ground, and the difference when they changed the capacity of
10 the tanks, they were 75 feet in diameter. They just changed
11 the height, so they were half million, three quarters, and a
12 million gallons.

13 We have not put any waste into these tanks since
14 1980. We've had a continuing program of pumping out all the
15 liquids, because we say 67 are assumed to have leaked, and
16 so, the system has been to pump out the liquids so they could
17 not leak, so that there were just sludge and salt cakes left
18 in the tanks. We have pumped off, over the years, the easy
19 to get to liquids. We're now pumping that which is residual
20 down in the solids by inserting a pipe down to the bottom of
21 the tank, with a screen section around it, as the liquids run
22 down to that point, then pumping that out.

23 We've completed that on a little over a hundred of
24 those, and have about 40 more to go, so that's ongoing now,
25 but the volume of the waste in the tanks is equivalent to

1 about 36 million gallons, and about 150 million curies, and I
2 say a number of those have leaked. So, those are the older
3 tanks.

4 The newer tanks we call double-shell tanks. They
5 look very similar. They're a reinforced concrete structure
6 buried underground. Rather than 75 feet in diameter, they're
7 80 feet in diameter, and the difference is that besides the
8 reinforced concrete structure and the carbon steel liner down
9 the walls and across the floor, there's another tank inside
10 of that carbon steel tank, so it's a tank within a tank, and
11 that's why it's called double-shell, a two and a half foot
12 annulus between the wall here, leak detection in the annular
13 splay, drainage grids between the two tanks, and also, below
14 the second, such that if it should leak, you would find out
15 about that.

16 We have 28 of those. We have plans to build six
17 more. They're currently in design. The largest size,
18 ranging from a million gallons to slightly over a million
19 gallons, they currently contain about 25 million gallons.
20 This is mostly liquids in these tanks, about 100 million
21 curies, and none of these have leaked. We have never
22 detected any leakage between the two tanks, nor outside of
23 the tanks, so that's the double-shell tank.

24 The tanks contain a large amount of non-radioactive
25 type materials, chemicals, so what you see here is an

1 estimate of what's in the single-shell tanks, what's in the
2 double-shell tanks, and a composite of the chemicals; more
3 than 300,000 metric tons of material, lots of water, but
4 also, lots of sodium and nitrate and a host of other
5 chemicals, so the bulk of the material in the tanks are
6 chemicals.

7 This is just to give you some appreciation of the
8 number of tanks and where they're located. This is the
9 dividing point between the west area and the east area, and
10 each circle represents an underground tank, and this
11 represents a collection which we call a tank farm, so those
12 are all in west. It's about evenly divided between the two
13 areas. There's only three double-shell tanks in the west
14 area, 25 in the east area, and we've been trying to do more
15 of the operations in the east area in recent times, so there
16 are a lot of tanks, and between all these tanks, there are
17 many, many pipelines.

18 The other waste form of tank waste is cesium and
19 strontium capsules. We have about 1900 of these, twice as
20 many cesium and strontium. The capsules are 2½ inches in
21 diameter and 20 inches long. They're a metallic capsule,
22 stainless steel, for the most part. The inner, on the
23 strontium fluoride is a Hastelloy, but it's a capsule, a
24 metal capsule within a metal capsule.

25 This contains a lot of curies of material, 150 or

1 160 million curies in these capsules, I mentioned about 1900.
2 Most of them are stored on site in water basins at what we
3 call the waste encapsulation and storage facility, and I
4 believe you'll visit that while you're here. They're in
5 basins with water to provide cooling and shielding, and the
6 capsules are in racks in the bottom.

7 There are a few hundred still off site that have
8 been used for commercial irradiators. We're now in the
9 process of shipping the last set of those back from Colorado,
10 and maybe they're somewhere else, but in the next few years,
11 they'll all be here at Hanford, and it will be up to the
12 Department to dispose of those.

13 Now, let me talk about past plans. In the
14 eighties, there were a number of alternatives looked at of
15 how to dispose of the waste, and in '87, an environmental
16 impact statement final was issued, and in '88, a record of
17 decision on what to do with the waste, and that was the basis
18 of the Tri-Party Agreement, or that agreement that was signed
19 in '89 between the EPA, State of Washington, and Department
20 of Energy, that established milestones for carrying out that
21 plan, and the plan said we would take the capsules, overpack
22 those, and send them to a geologic repository.

23 There was some question whether that waste form
24 would be acceptable to the repository. If it wasn't, we
25 might have to treat that waste first. For the double-shell

1 tanks, the waste would be removed, it would be divided into
2 two fractions, so that the bulk of the chemicals and a small
3 part of the radionuclides would be turned into a cementitious
4 grout waste form and disposed on site in near-surface vaults,
5 and the bulk of the radionuclides and a small amount of
6 chemicals would be vitrified, packaged, and sent to a
7 geologic repository off site.

8 And for the single-shell tanks, the decision on
9 what to do, that was deferred. There was still discussion
10 going on, should the waste be removed and sent the same path
11 as the double-shell tanks, or could some or part of that
12 waste be left disposed on site? So, that was the plan that
13 was put into the Tri-Party Agreement, and we were moving
14 forward with until about a year ago.

15 Since that time frame, several things have occurred
16 that resulted in changing the plans. In the '89-'90 time
17 frame, a number of waste tank safety issues were identified
18 and escalated in visibility and concern, and so that changed
19 the focus of the program to put a lot more effort there. The
20 Department has chosen to plan to retrieve the single-shell
21 tank waste. That resulted in about a four-fold increase in
22 the waste volume that has to be dealt with.

23 We had planned to use the B Plant, refurbish that,
24 and use that for a pre-treatment facility for the double-
25 shell tanks. That was deemed to be not a practical solution,

1 part of that based around the hazardous waste laws, and
2 double containment, and what it would take to do all of that,
3 and there were concerns raised about the grouted low-level
4 waste form, whether that was an acceptable product,
5 particularly by the public or outside stakeholders were
6 concerned about that. So, those were things that came up in
7 the last few years.

8 As a result of that, alternatives for disposal were
9 again evaluated. There was a lot of stakeholder values
10 sought and incorporated, a lot of meetings with the
11 stakeholders to see what their values were, and a number of
12 public meetings; also had a Tank Waste Task Force that was
13 formed and convened last summer to review the plan, and as
14 the new plans developed, they were out for public review and
15 comment.

16 There was also concern, particularly out of
17 Washington, D.C., about how this could be funded, whatever
18 the plan was, and so, that had some impact on how things were
19 lined out, particularly with the milestones. This new plan
20 was negotiated with the regulators, and this Tri-Party
21 Agreement amendment was signed, then, in January.

22 Here are some of the public input values that we
23 received that were applicable to the tank waste; certainly
24 recognized safety had to be first, protecting both the public
25 and the workers, no debate on that, and because the tank

1 farms are old, we were in an upgrade program, upgrading a lot
2 of the old equipment, like air compressors, instrumentation.
3 They supported that strongly, but they had a strong message
4 that we should not delay anymore, that we need to get on with
5 the cleanup, and do what you know now rather than setting it
6 and trying to come up with a perfect solution. Find an
7 acceptable solution and get on with it.

8 There was not support for the grout. They wanted a
9 better waste form, and they would like retrievability. As I
10 view that, we've had leaking tanks at Hanford. There is this
11 worry about, so you put it in something else, somewhere else,
12 might it leak, also, and so, you ought to be able to do
13 something about it just in case something goes bad.

14 Get on with it, using available technology, and if
15 you find something better in the future, then worry about
16 putting that in the system, rather than waiting for the best.

17 Get the waste out of the tanks and in stable form.
18 There would be an acceptance of glass; concerns about don't
19 contaminate a whole bunch of new land at Hanford. In
20 particular, this is related as we looked at disposing of the
21 low-level waste on site, to try to minimize that volume.

22 They wonder whether there will ever be a
23 repository, and so kind of accept it'll be at Hanford for a
24 long time, and make sure it's stored safely, and minimize
25 transportation off site, and, of course, use the money

1 wisely.

2 The results of all that is this current strategy
3 for dealing with the waste. I'll spend a little bit of time
4 at this, see if I can walk you through it.

5 Here are the three waste types we have, the double-
6 shell tank waste here, single-shell tank waste, and the
7 capsules. The plan is still to send the capsules to the
8 repository. If we can do it by just overpacking, we'd do
9 that, probably. If that's not acceptable, then we'd go up
10 here toward a vitrification side.

11 For the tanks, both single-shell and double-shell,
12 there's a lot of activities that we're conducting today in
13 the tank farms; resolving the safety issues, upgrading and
14 improving the tank farms, the operations and the equipment,
15 accelerating the waste characterization and analysis effort
16 of what's in the tanks, so those are ongoing now, and the
17 rest of this, then, is things that would happen in the
18 future.

19 We would plan to retrieve the waste from all the
20 tanks, and we would like to be able to sluice the waste out
21 of those tanks as a primary method. There's concerns about
22 the leaking single-shell tanks, whether you can hydraulically
23 sluice that waste; if so, how much might leak out, and so
24 we're looking at developing barriers to see whether we might
25 be able to develop a sub-surface barrier you could build

1 around the tanks, which might range from grouting around it,
2 or freezing the ground, or whatever. We're at least going to
3 look at the development of that, see if that might be applied
4 to these tanks to contain potential leakage. That's a
5 question that's yet to be answered.

6 Once the waste is retrieved, it would go through
7 what we call a pre-treatment process, a separation of that
8 fraction which becomes the low-level waste, and that fraction
9 that becomes the high-level waste, and so, most of the
10 chemicals in the tank are soluble in water or alkaline
11 solutions, so what we want to do is get the bulk of those
12 chemicals into a solution, and route them in this direction,
13 remove the remaining radionuclides, and that becomes the low-
14 level waste stream, which would be vitrified, and left on
15 site.

16 And the remaining that would not go into solution,
17 basically, the sludges, would come this way and become the
18 high-level waste stream, be vitrified, stored on site in
19 interim mode, and then go to an off-site geologic repository.
20 There's a big question here of how well this will work, in
21 that we have said we want to get this high-level waste stream
22 down to an acceptable volume, not defined, of what is really
23 acceptable. We would like to be able to do that by always
24 working on the alkaline side as far as the separation
25 process.

1 If we can't get the volume small enough, then we'll
2 probably have to work on the solids, the sludges, which would
3 mean dissolving those in nitric acid and maybe some other
4 chemicals to reduce that volume of high-level waste, and so,
5 we have a development program as a backup here, that would
6 look at additional pre-treatment on the acid side, to reduce
7 the volume of high-level waste to make that an acceptable
8 amount.

9 We're also looking at more aggressive alkaline side
10 processes to leach out some of the chemicals that impact
11 glass loadings, and so on, so the plan, as a base plan, is
12 just to work on the alkaline side to get an acceptable glass
13 volume. If that's not successful, then we have a backup to
14 do more aggressive work, but this adds a whole set of
15 chemical processes that we'd rather not have.

16 And so, in both of these streams, there are
17 development activities going on for radionuclide removal. We
18 know we have to remove cesium and plan to do that, and that's
19 pretty well-known technology. Whether we need to go further
20 than that, there's some debate on.

21 We need a very large capacity melter system, one or
22 two hundred ton a day range to handle the waste, and so
23 there's a program to try to select and get that. The amount
24 of waste we're going to send on the high-level waste side is
25 a considerably greater capacity than DWPF. We're talking 15

1 or 20 ton a day, probably, here, where the Savannah River
2 melter is about 2 $\frac{1}{2}$ ton, so there's activity here and an
3 increased capacity for melters.

4 So, that's the plan. Of all the waste that comes
5 out of the tank, on the order of 5 per cent will come this
6 route, and 95 per cent will go the route and be left on site,
7 so basically, all chemicals that tend to drive the
8 radionuclides here, and the chemicals to low level. So,
9 that's the current plan.

10 There are a number of milestones associated with
11 this plan. It's kind of a demand schedule. I have two pages
12 of those. What these charts show you, the major milestones
13 that are in the Tri-Party Agreement here, what the previous
14 date was; that is, a year ago, this was the date we were
15 signed up to do, what that was changed to in the January, '94
16 amendment to the plan, and a little bit here on the reason
17 for the change.

18 Some of our milestones were slipped, other
19 milestones were added to address other aspects. This just
20 addressed the tank waste. It does not address spent fuel or
21 environmental restoration or any of that, but let me point
22 out a few.

23 We added milestones on safety issues, and if you
24 look in the agreement, there are a lot of sub-milestones
25 below these, more near term, but providing some additional

1 double-shell tanks was added, milestones upgrading the tank
2 farms.

3 Now, if you get down on the disposal side of the
4 business, a complete closure of all single-shell tanks was
5 slipped six years. The date to get all of the waste out of
6 the single-shell tanks remained at 2018. That remained the
7 same, to get it out of the tanks by then, so that's an
8 important date, and we have to initiate some near-term
9 demonstration of retrieval, and we're on schedule to do that.

10 So, this is getting out of the tanks and getting closure.

11 This chart talks about the pre-treating or
12 separating the waste, what the milestones are there to start
13 construction of a low-level waste pretreatment facility by
14 '98, and to start that up by 2004, and for the high-level
15 waste side, to start up a pretreatment facility by 2008 are
16 dates in the system.

17 The vitrification part for the high-level waste,
18 that date slipped, basically, ten years. We were going to
19 start, we were committed to set up in '99. That went to
20 2009, and what happened there, once we decided not to proceed
21 with grout, the critical path became how do we dispose of the
22 low-level waste fraction, because when you start to retrieve
23 waste out of the tanks, the bulk of the waste is on the low-
24 level waste side, and if you can't get rid of it, you have to
25 build lots and lots of tanks, because, in getting it out of

1 the tanks, you have to dilute the waste several-fold to get
2 it out of the tanks. So, it's very critical that we have a
3 way of disposing the low-level waste fraction in parallel
4 with retrieving waste out of the tanks, because where the
5 bulk of the waste goes.

6 So, the effort then shifted toward the low-level
7 vitrification, away from the high-level waste vitrification,
8 and so, here is the low-level waste vitrification milestones
9 in this area; to select a reference melter by '96, to
10 initiate construction on the facility by '97, and have it in
11 operation by 2005. So, there's a lot of emphasis being given
12 to this part of the activity.

13 So, that's a little bit on Hanford tank waste that
14 I wanted to communicate to you, and if you have any
15 questions, we have time for that.

16 DR. VERINK: There will be some time for some questions
17 now.

18 Don?

19 DR. LANGMUIR: Langmuir; Board.

20 I'm impressed how much has been learned since I
21 last heard about this program a few years ago. I was
22 surprised and hopeful that, in fact, you do know what's in
23 all the tanks. Not long ago, it was a real issue, what's in
24 the tanks, and you had tables which showed, in some detail,
25 tank content. Is it true, in fact, we know pretty exactly

1 what radionuclides and other components are in each of those
2 tank systems?

3 MR. WODRICH: No. There's a lot of emphasis and a lot
4 of concern about what we know about what's in the tanks. We
5 know pretty well what into the whole tank system by looking
6 at the essential material records for the plants that
7 generated the waste. So you can say this many tons of these
8 chemicals pretty well went into the tanks. But how that was
9 disbursed in the tanks, because the waste was pumped from
10 tank to tank over the years many times, then the question of
11 what's in individual tanks is much more difficult to answer.

12 The same way with radionuclides; you can go back to
13 the reactor codes of what the radionuclides were that were
14 produced and do the decay change and so on and say this went
15 in, but the distribution of that becomes much more difficult.
16 So on an individual tank basis, we have a lot to learn
17 there. We have a very strong program to take lots of
18 samples, analysis and also search historical records and do
19 process evaluation to say what should be there. So there's a
20 lot of work in trying to move us into knowing a lot more
21 about the tanks, but we still have a lot of questions on
22 individual tanks.

23 DR. LANGMUIR: But it sounded as if you had a plan for
24 dealing with the tank contents regardless, and maybe you
25 don't have to know a lot about--everything about each tank to

1 deal with it as you're proposing, but you seem to have a plan
2 regardless.

3 MR. WODRICH: I think that's right, because when you
4 take it out of the tank, a lot of it's going to get blended
5 and mixed again. So we have kind of the characterization
6 part of finding out what's in the individual tanks is kind of
7 focused on two things. On individual tanks, there's a big
8 drive to know some things about it from a safety issue
9 resolution standpoint, because if you have a safety issue
10 with a particular tank or wonder whether you may have a
11 safety issue, you need to know something about a specific
12 tank pretty well. So that's kind of an individual tank
13 focused effort.

14 When you get into the processing side, then the
15 individual tank thing is not nearly as important as knowing
16 on a little grander scale. And we can await some of that
17 information. I mean, once you take it out of the tank and
18 get it blended into a feed tank, you can also analyze and
19 tell you something about how you adjust the process. So
20 there are some other opportunities to deal with it when you
21 get into the disposal side. But we have a big program to
22 learn more about what's in the tanks.

23 DR. LANGMUIR: And one other at the moment. Not a word
24 was said about the radionuclides and other contaminants that
25 have made it out of the tanks into the geologic media and the

1 ground water. I presume they're obviously going to be
2 cleaned up. But when you extract radionuclides from geologic
3 materials, where are they going to be disposed? What's the
4 plan for disposal of the leak materials from these tanks?

5 MR. WODRICH: Well, it hasn't been decided what will
6 happen to that. It's supposed to be addressed, as far as
7 what's leaked from tanks, is to be addressed in the closure
8 plans for the tanks, which won't be available for a few
9 years. And that is a question; can it remain there or does
10 it have to be removed. If it has to be removed, what do you
11 have to do with it? That's an open question.

12 The actual amount of radionuclides that's in the
13 ground leaked from the tanks as compared to what's in the
14 tanks is a fraction of 1 per cent. It's still, you know,
15 thousands of curies, but it's still very small in comparison
16 to total.

17 All of the radionuclides in the soil, I mean,
18 what's leaked from a tank is only a small part of what's in
19 the soil that's come from other sources. When I say other
20 sources, where we deliberately discharged low levels of
21 activity into cribs, which is mostly water, but carries some
22 radionuclides, what we have buried as solid waste in the
23 soil. So those are all questions and there's a lot of
24 questions raised, well, if you do that here, how does that
25 affect that over here, and not all that's ironed out.

1 DR. VERINK: Any other questions from the Board? Yes.

2 DR. DI BELLA: Carl DiBella, Board Staff. I've got two
3 questions that aren't really related.

4 One is you mentioned at an earlier slide that part
5 of your public input was a desire to minimize transportation
6 off site, and this sort of surprised me because I would
7 assume that most of your public input would have come from
8 the local public, and the local public would want to maximize
9 transportation off site, that is, get rid of it. Tell me the
10 thinking behind--that went in behind that particular public
11 input.

12 MR. WODRICH: Okay. The public that we did discuss--
13 that was involved in the discussions also included people
14 from Oregon, and there are mixed messages there. There is a
15 segment of the population who want Hanford returned to the
16 pristine, and that means send it all to that off-site
17 repository, and they have strong feelings about that. There
18 are people from Oregon and other places who live along the
19 transportation corridors who aren't interested in having a
20 lot of waste come by.

21 Also, one of the alternatives we looked at that was
22 proposed is why not send it all to Savannah River for
23 vitrification, and that was part of this discussion that says
24 that doesn't seem reasonable that you would want to have that
25 kind of--that much stuff shipped across the country. So, on

1 balance, I think there was some balance of people recognizing
2 the reality of other places.

3 DR. DI BELLA: I have a second question. Steve Gomberg
4 earlier this morning presented some standard specifications
5 for vitrified high level waste. There were some minimum
6 specifications derived from regulatory documents, and there
7 were some other specifications, such as the size of the
8 canister and the weight of the canister, a product
9 consistency test, and so forth. How much are those latter
10 standard, not the minimum, but the standard requirements; how
11 much are they influencing the plan that you have developed
12 here?

13 MR. WODRICH: On the size, if you talk about the size of
14 the package, we have had discussions with repository staff on
15 what the latitude might be there, and I have indications that
16 they would consider different size packages. We believe from
17 a cost standpoint, there would be advantages to the system to
18 make larger packages. We think certainly you could go to the
19 size of a spent fuel package without any problem, I mean, it
20 would seem reasonable, and of course if you do that, you can
21 basically double the amount of waste you put in any canister
22 and so reduce the number of packages you have to handle.

23 We also, from our view, think there might be an
24 incentive to go to significantly larger packages, and I
25 believe that hinges a little bit on how the repository is

1 going to--what kind of packages they're going to have and how
2 they're going to dispose of those. That's an open issue, yet
3 we've had some of those discussions. But at least we have
4 some encouragement that would be considered.

5 Would that change our plans if it was a small
6 package versus a large package? No, I don't think so. The
7 only place it would impact is what's this reasonable amount
8 of glass to send to the repository, and I see reasonable
9 amount meaning something about the volume that you want to
10 store there and also the cost associated with disposing of it
11 there. So there's kind of two factors. But I don't think
12 we're that far--it would swing it that much of a change. It
13 might say we ought to be a little bit more aggressive in how
14 much--how well we reduce the volume that goes there, but I
15 don't think it would be a big swing.

16 DR. DI BELLA: What about the product consistency test;
17 do you feel that's limiting?

18 MR. WODRICH: I'm not very good to talk about that.

19 DR. DI BELLA: Do you know if it costs you a lot to
20 follow it or it limits the size of the package in any way to
21 do that? Would it save a lot of money, or it doesn't make
22 any difference?

23 MR. WODRICH: Well, let me give you just some
24 impressions. We're looking at two products; one would be
25 more like a monolithic pour in a canister and let it cool and

1 whatever. The other would be maybe producing some smaller
2 particle size glass where you could do product sampling and
3 recycle if you had to before you put it in the container.

4 Now, whether the repository would accept that, that's a
5 different kind of a thought and I think there's a lot more
6 discussion there whether that would be acceptable. But we
7 have people on the processing end who really favor doing
8 something like that.

9 DR. VERINK: Bill Barnard, you had a question?

10 DR. BARNARD: Yeah, Bill Barnard, Board Staff. Enjoyed
11 your presentation, Don. It was excellent.

12 I have a question about the low-level waste, the
13 grout. Other than the disadvantage of it not being
14 retrievable, were there any other problems with the grout?
15 They had just completed one of the monoliths a couple years
16 ago when we were here.

17 MR. WODRICH: Yeah, there were other questions, because
18 one could make grout retrievable. I mean, you could put it
19 in a box or something. And the view we have is that we
20 believe it was technically acceptable; if you could show that
21 it would meet performance acceptance specifications, it was
22 technically acceptable. The public stakeholders really have
23 strong feelings about it. My view is there was a wide range
24 there, not always consistent between people, but a wide range
25 of views. It takes up a lot more space than--I mean, it's

1 about four times as much volume as we predict we will have
2 out of the glass product. So that impacted those who say
3 let's not contaminate more land.

4 There was the long-term stability of grout for
5 containing some of the long-life radionuclides, and would it
6 really meet that, you know, over that very long term. So
7 there were those things. And then the retrievability issue
8 they saw poured into this big monolith as, gee, if it went
9 bad, you'd never get it out of there. So it was kind of
10 those kinds of things.

11 DR. BARNARD: Was there evidence that the radionuclides
12 might be leached from the ground?

13 MR. WODRICH: In doing our performance assessments, and
14 when you look out 10,000 or more years and do the predictions
15 with the codes, the technetium is still around, the iodine
16 129 and some of those. And so under certain scenarios, they
17 would exceed limits of 4 milligram, and they occurred several
18 thousand years down from now before they became an issue.
19 And, of course, the reliability of how well you can predict
20 that then comes into question. So we did some measures, took
21 some measures associated with the vaults to counteract that
22 potential, like putting an asphalt cocoon around the vaults,
23 and some things. So that was one of the challenges of the
24 program. However, I believe we ended up with a performance
25 assessment and conditions in the vault that said that we

1 could contain it to meet the requirement. But that has been
2 challenged.

3 DR. VERINK: Okay, thank you very much. I think we're
4 on schedule to take a break at this time. We'll reconvene
5 promptly at 10:30.

6 (Whereupon, a recess was taken.)

7 DR. VERINK: Our next speaker is Steve Schaus.

8 MR. SCHAUSS: Good morning. My name is Steve Schaus and
9 I'm with Westinghouse Hanford. I work on the Tank Waste
10 Remediation System, specifically in the High-Level Waste
11 Program Office.

12 What I'd like to discuss this morning is to focus a
13 little bit on the disposal piece of TWRS Program. As Don
14 Wodrich described it, it's a very large program. Bill
15 Levitan pointed out that this is over a \$500 million a year
16 program here at Hanford, so as a result of its size, we have
17 basically broken it into eight or nine program elements with
18 two primary groupings; one, the safety and operation side,
19 which is sort of our on-going tank waste management program,
20 and the other is the forward looking program, our disposal
21 program, which will ultimately decide the fate of the waste
22 as it's presently stored.

23 Just as a reminder, we're specifically looking at
24 the single-shell tank waste, the double-shell tank waste, and
25 the cesium and strontium capsules. The last topic there, the

1 cesium and strontium capsules, we're devoting a special
2 presentation to that. Ed Randklev, who is also on the staff
3 here at Westinghouse, will be talking about that later this
4 morning.

5 Taking Don's diagram that showed the overall tank
6 waste remediation system and focusing on that part that we've
7 described as the disposal, we start over here with the waste
8 retrieval. The waste retrieval program basically provides
9 the link between the ongoing operations and the disposal.
10 You have to take the waste, of course, out of the tanks and
11 transfer that then to our pretreatment facilities which will
12 provide the feed then to the low-level waste and the high-
13 level waste immobilization processes.

14 This is the area which I think the Board is
15 primarily interested in hearing more about, and that will
16 probably be the main thrust of the rest of my presentation
17 this morning. We also show again strontium and cesium
18 capsules and the decision there on how we package those.

19 Again, Don showed the whole spectrum of recently
20 negotiated Tri-Party Agreement milestones. I wanted to focus
21 on those that impact our disposal program. We have a very
22 aggressive program to complete the characterization of the
23 tanks. In fact, at the present time, I'm on special
24 assignment to that particular program to look at ways of
25 accelerating that work.

1 As part of the support infra-structure that we will
2 require for treating and disposing of the waste, we currently
3 have in our planning six new double-shell tanks. Again, Don
4 described those tanks as they currently exist. The plans for
5 the six new tanks are similar to what Don described earlier.

6 As far as the low-level waste is concerned, we're
7 looking at a fairly early in the next century, 2004, 2005
8 time frame, having both the capability to pretreat the feed
9 that would go to low-level waste, as well as to now vitrify
10 rather than grout that waste stream.

11 The high-level waste, we're going to basically
12 side-pocket the sludges, the solids, until later in the first
13 decade of the next century with a plan to start our
14 pretreatment in mid 2008 and the start-up of our vit. plant
15 in late 2009. We're on track then with a goal of completing
16 that vitrification within about twenty years.

17 As mentioned earlier, in terms of again looking
18 specifically at the high-level waste portion of the feed that
19 has to be immobilized, we're looking at a caustic sludge wash
20 process as our primary means of reducing the waste volume
21 that goes to vitrification.

22 We will continue to look at other means of treating
23 that waste as a way of further reducing the volume in the
24 event that we don't meet our goals for volume, and if there
25 are indications again from the repository program that the

1 volumes that we're currently projecting are unacceptable.

2 The organic destruction process, we need to
3 continue to look at that both from a standpoint of resolving
4 some of our safety issues with regard to the tank, but also
5 the organics tend to complex some of the radionuclides that
6 we would like to remove and vitrify as part of the high-level
7 waste stream. And then I've again shown the two dates that
8 refer to the start-up of our pretreatment facilities.

9 In terms of our current planning for immobilizing
10 the high-level waste, we continue to look at a vitrified
11 waste form that would be put into canisters. That waste,
12 canistered waste, would be stored on site until such time as
13 a geologic repository is available for disposal. Our current
14 planning is that we would have sufficient storage capacity on
15 site to store every canister of waste that we produce here.
16 We would not count on having a repository available before
17 2028, is basically what we're looking at.

18 In terms of answering the question that Carl raised
19 earlier about the canister size and so forth versus cost,
20 right now, because we backed away from HWVP as a
21 vitrification plant, and as you'll recall probably from your
22 last visit here, HWVP was really looked at as a sister plant
23 to the Savannah River plant, to DWPF, and it was essentially
24 a carbon copy of that, and so our planning base at that time
25 was the two foot by ten foot diameter canister--two foot

1 diameter by ten foot long canister.

2 Since we've had sort of, if you will, a reprieve
3 based on the Tri-Party Agreement milestones, we're relooking
4 at that. We're really saying based on the volume of waste
5 that we have here and other considerations, does that two
6 foot diameter by ten foot canister make the most sense. And
7 so we are looking at that, and in some of our discussions
8 which we start, which have actually been ongoing over the
9 years, but which we're re-initiated specifically in terms of
10 this program about a year and a half ago, almost two years,
11 it was October of '92, we did get some indications from the
12 repository program that they were looking at what they call
13 our multi-purpose canister, which is on the order of five
14 feet in diameter by 17 feet long, some dimensions like that
15 anyway.

16 And so, again, for planning purposes, we've been
17 looking at that envelope as something that we could utilize
18 for purposes of containing our waste, whether it would be in
19 multiple smaller canisters that would fit inside something
20 like an MPC or directly somehow filling that MPC, we have,
21 again, not totally converged on that. We continue to look at
22 the options.

23 As Don mentioned earlier, the vitrification
24 facility that we currently envision requires a capacity
25 substantially larger than either DWPF is currently

1 constructed for or that HWVP was being designed to. We're
2 looking at something in the order of 15, perhaps even as
3 large as 20 metric tons per day. We plan to start
4 construction of that facility in 2002, and hopefully have it
5 operating by the end of 2009 and, again, complete our
6 vitrification mission by 2028.

7 This shows some of the same information that Steve
8 Gomberg showed you earlier this morning. If we were to ask
9 RW today what they expected to get from us, this is what
10 they'd tell us basically, two foot diameter, ten foot long
11 glass monolith, borosilicate glass, they'd probably even day,
12 and a thermal output that doesn't exceed 1500 watts. This is
13 our standard design basis.

14 Using our current planning base for TWRS, we would
15 expect to produce something on the order of 10 to 28,000
16 cubic meters of high-level waste. What does that mean in
17 terms of the standard DWPF style canister which contains
18 about six-tenths of a cubic meter? You can see what that
19 means in terms of canister count, something upwards to
20 perhaps as many as 45 or 50,000 canisters.

21 The total thermal load of that, getting back to the
22 question that was asked earlier, when indexed to the year
23 2021, is just under 1000 kilowatts, and equivalent metric
24 tons of heavy metal, about 2600. So in terms again of the
25 current limits, legal limits that are put on the first

1 repository, we would contribute at Hanford from our waste a
2 fairly small fraction of that total.

3 Perhaps this slide gets at the meat of the reasons
4 that you're interested in hearing more about our particular
5 activity with regards to the tank waste remediation system
6 program. Some of the options that we're currently looking at
7 and that we have discussed with RW, again as far back as
8 October, '92, an elongated DWPF or West Valley style
9 canister, basically taking that two foot by ten foot and just
10 stretching it five feet. And that actually gives us a volume
11 of about 1.3 or 1.4 cubic meters of volume, would
12 substantially reduce, cut by more than half the number of
13 canisters that I showed on the previous slide.

14 The large canister or cask which has an internal
15 volume approximately 10 cubic meters, again is based on the
16 MPC style container, or at least something that could fit
17 into an MPC, if that was used as the over pack.

18 Don mentioned again earlier that one of the things
19 that we're looking at besides the monolithic type waste form,
20 the glass log as it's commonly called, that's the DWPF and
21 West Valley design base, is smaller particles of glass,
22 either as a cullet or perhaps as some kind of a shape like
23 marbles or gems.

24 Now, we also showed as one of our technology
25 development activities looking at other melters, one of the

1 other melter types that we're looking at is a high
2 temperature melter. The high temperature melter allows us to
3 go to, among other benefits that it has, a higher waste
4 loading of waste oxide per unit volume of glass. That of
5 course, again, is one way we can reduce the number of
6 canisters that we produce.

7 If we're going to higher temperatures, that also
8 then allows us to go to different types of glasses, one of
9 which is the aluminosilicates. There may be some others out
10 there that we haven't necessarily looked at at this point,
11 but we are looking at alternative melters, and as a result,
12 glasses as well.

13 Then the cesium and strontium capsules, again, our
14 record of decision based on the 1987 Hanford Defense Waste
15 EIS, was to overpack those capsules and put them in canisters
16 and send those directly to the repository. However, we've
17 had some indications from our discussions with the repository
18 that perhaps because of the corrosive nature of those salts,
19 and it's really primarily the halides, not the cesium and
20 strontium, that's of concern, that we may have to look at
21 ways of blending those salts in with some of our other waste
22 streams. And, again, we'd probably want to blend those
23 because of the high heat of those particular salts. That was
24 the main reason they were taken out of the waste in the first
25 place, was to reduce the heat load on our single-shell tanks.

1 And referring back then to the previous slide in
2 terms of our technical rationale for some of the options
3 considered, as far as the larger size canister is concerned,
4 obviously that reduces the number of units that have to be
5 handled, both here and at the repository, fewer number of
6 canisters that have to be transported. Again, that was
7 mentioned as a stakeholder value.

8 And, again, in conjunction with our discussions
9 with RW, we're really trying to take advantage of some of the
10 good work that they're currently doing in looking at
11 packaging and transportation concepts. So we're really
12 trying to piggyback some of our thinking on the work that the
13 repository program is currently doing.

14 As far as non-monolith glass is concerned, if we
15 would find that our glass is out of specification, something
16 that's in particle size is certainly much easier for us to
17 recycle. And it perhaps would also allow us to better
18 utilize the large column canister or cask concept. Trying to
19 pour a monolith in something five feet in diameter may be
20 somewhat of a challenge. So the smaller particle glass forms
21 would allow us to perhaps fill that kind of a canister
22 directly.

23 As I mentioned earlier with the non-borosilicate
24 glasses, that does potentially afford us higher waste loading
25 per unit volume. The current reference waste loading that

1 DWPF uses is about 25 per cent waste oxide by weight per unit
2 volume. And that may even tend to be on the high side. I
3 think they typically quote more like 20 to 25 per cent as a
4 range. But with some of the non-borosilicate glasses, we're
5 predicting we could possibly double that waste loading, get
6 upwards to 50 per cent waste loading. So there's, again,
7 potentially some real incentive there.

8 As far as the cesium and strontium capsules are
9 concerned, obviously the overpack, if we can just go ahead
10 with a direct overpack, it reduces the amount of handling and
11 processing that we have to do here on site. The flip side of
12 that is that in some of our at least initial looks at
13 deencapsulating those strontium and cesium capsules and
14 blending off those materials, it substantially reduces the
15 number of canisters, the increment of canisters that we would
16 produce as a result of the cesium and strontium.

17 I think in terms of the integrated data base, which
18 is an RW document that's updated yearly, the overpack
19 scenario, we were predicting somewhere on the order of 300
20 canisters from that waste form. Some of the early
21 indications as far as blending is concerned, the incremental
22 number of canisters would probably be maybe two dozen,
23 something on that order, 20 to 25 additional canisters.

24 As far as the cost incentives, the primary purpose
25 for our initial contact with RW back in October of '92, once

1 the TWRS program was initiated, was to request some support
2 from RW in terms of looking at disposal fee related to
3 various pretreatment and canister size scenarios. And the
4 results of that work that Carl Conner and the Weston support
5 people did very clearly demonstrated to us that going to a
6 larger canister, whether it's the two foot diameter by 15
7 foot, or even the much larger canister, definitely paid
8 dividends in terms of reducing the associated disposal fee.

9 As far as the non-monolithic glass is concerned,
10 again, the ease of recycling converts to dollar savings in
11 terms of cost there, and also it would possibly be necessary
12 to use that if we went to the very large 10 cubic meter
13 canister.

14 Non-borosilicate glasses, again, because of the
15 reduced volume of glass, directly converted to reduced
16 storage, transportation and disposal fees.

17 Overpack, the advantage there is, again, less
18 capital investment. That looks like something that could be
19 handled right in the vitrification plant, and obviously then
20 also lower operating cost because of less handling, less
21 processing.

22 The blending of the cesium and strontium capsules
23 converts directly into less disposal fee associated with it.

24 Steve Gomberg mentioned the MOA that's been
25 recently signed between EM and RW. Using that as a point of

1 departure, we strongly desire from an EM perspective, from a
2 Hanford perspective, to continue that dialogue. We, I think,
3 established a very good working relationship with RW and
4 their project people at the Yucca Mountain site as well, and
5 we want to get more specific in terms of discussing some of
6 these options and getting more official, if you will,
7 responses from them in terms of acceptability.

8 So that results in or requires establishing some
9 official points of contact between RW and EM, getting
10 agreement from RW to provide evaluations of our options,
11 again from their system perspective. We've got our own
12 system in terms of trying to optimize our costs and minimize
13 schedule impacts. Obviously, they also have a system that
14 they have to work our options into.

15 And then based on that MOA, we need to agree on a
16 process for formally transmitting requests and getting
17 responses from the RW program. Basically, the question is is
18 the waste acceptance process that was promulgated back in
19 1985 or so, is that still the marching orders that we're
20 working with today.

21 So that kind of lays out in summary fashion where
22 we're at and where we see ourselves going, hopefully
23 collectively, RW and EM working together over the next few
24 years to define what the waste form and canister for the
25 Hanford high-level waste will be.

1 Any questions?

2 DR. VERINK: Before we start on the questions, I want to
3 report that I made my first mistake. I neglected
4 inadvertently to introduce Carl DiBella, who is Senior Staff
5 Member, who is the primary support of the Engineered Barrier
6 System. So sorry, Carl.

7 Now, any questions?

8 DR. LANGMUIR: Langmuir; Board. I was, Steve,
9 interested in some of the proposed waste form ideas that you
10 were coming up with, and one concerned me quite a bit and
11 that was the cesium and strontium halide capsule. My sense
12 would be as a chemist or geochemist that that's an extremely
13 soluble form.

14 MR. SCHAUSS: Very.

15 DR. LANGMUIR: And to put it as such in a waste package
16 where it was vulnerable to environmental--at a repository
17 would strike me as a rather hazardous thing to do.

18 On the other hand, cesium and strontium should be
19 very soluble in these high temperature aluminosilicates melts
20 of yours, and that would be a nice way to put them in a form
21 which was less vulnerable to leaching. What are your
22 thoughts on that?

23 MR. SCHAUSS: Well, again, some of the indications that
24 we have--initial indications, unofficial, that we've gotten
25 back from RW would indicate that perhaps because of the

1 solubility concerns, the highly corrosive nature of those
2 salts as well, that those salts are probably not, or at least
3 possibly not acceptable in their current form for direct
4 disposal into the repository. However, we haven't had that
5 dialogue officially and so a lot of the information that we
6 have received has been kind of I would say personal technical
7 opinion.

8 We share those concerns and that's why we're
9 keeping our options open, why we're continuing to look at
10 ways of disposing of those salts through blending them with
11 some of our other waste to dilute the thermal load per
12 canister and dispose of it in that fashion. So, yes, we are
13 continuing to look at other options besides direct disposal.

14 However, the reason we show that as our baseline at
15 this point in time is because the NEPA documentation which is
16 still, as I understand it, in force here for the double-shell
17 tanks and the cesium and strontium capsules does indicate
18 that those would be directly disposed in a manner that's
19 acceptable to the repository, by the way.

20 DR. LANGMUIR: Doesn't your program presumably have--I'm
21 sure that you do, and I think earlier in the day, Steve
22 Gomberg mentioned the building integrity requirements that
23 you have for your materials in the environment. Am I not
24 correct that you have leaching tests that you do, rates of
25 leaching, leachability tests that you perform on the

1 different waste materials you propose to put out there?

2 MR. SCHAUSS: Certainly on the glasses there's a standard
3 leach test that's used. Again, you know, if we were to put a
4 stainless steel canister and subject it to that same leach
5 test, the canister itself would pass the leach test but, you
6 know, there's got to be obviously a concern for the long-term
7 integrity of those capsules and if they were to develop pin
8 hole leaks over a long period of time, what happens to the
9 materials inside and so forth.

10 DR. LANGMUIR: One last thing related to that. You
11 suggested that granular materials were more versatile in
12 terms of what you could do with them. They obviously also
13 are more soluble, much more reactive surface area is exposed
14 when you make it granular. Was a consideration that the
15 granular material itself might be an ultimate form for
16 disposal?

17 MR. SCHAUSS: There has been some initial looks at that.
18 But, again, the higher surface area to volume ratio
19 obviously gives us higher rates of dissolution. We also have
20 some concerns, quite frankly, with dispersability in certain
21 transportation scenarios and so forth. So we are continuing
22 to look at alternatives to the monolithic glass as we look at
23 that in conjunction with canister size, but we don't have any
24 final decision on that yet. And, again, these are questions
25 that we need to get feedback in a fairly formal fashion from

1 RW as well.

2 DR. VERINK: Bill Barnard?

3 DR. BARNARD: Bill Barnard; Board Staff. If you did
4 blend the cesium and strontium capsules in with the rest of
5 the wastes, you'd reduce the number of canisters. But would
6 that require you to use a more robust container, canister, on
7 the outside, or could you still go with the stainless steel
8 that you're planning on right now?

9 MR. SCHAUS: Again, we haven't really looked at that in
10 any detail but, again, our initial look at blending the
11 cesium and strontium would not be as halides. It would be to
12 take those and convert them to some other form of cesium and
13 strontium salts so that the halides would not be part of the
14 glass waste form. If that's your question. Are you talking
15 about a question about corrosivity?

16 DR. BARNARD: Well, you've increased the long-term
17 hazard of the glass, haven't you, because you've added cesium
18 and strontium which has a longer half life.

19 MR. SCHAUS: Cesium and strontium has a very short half
20 life.

21 DR. BARNARD: Relative to the others?

22 MR. SCHAUS: Yes, 30 years. You know, ten half lives in
23 cesium and strontium, you know, 300 years, you basically
24 don't have a problem with either of those.

25 DR. BARNARD: Okay. How about the--

1 MR. SCHAUS: About the time they start the repository.

2 DR. BARNARD: I think I'll leave it right there.

3 MR. SCHAUS: I couldn't resist.

4 DR. VERINK: Garry?

5 DR. BREWER: I'm not an engineer, but it seemed that
6 many--

7 DR. VERINK: Can you be closer to the microphone?

8 DR. BREWER: Yes. This is Brewer of the Board. I'm not
9 an engineer, but it seemed that many of the implications of
10 the cost incentives in your chart Number 11 were really to go
11 to containers that would be hotter, and I wondered if there
12 had been consideration given to the thermal loading in terms
13 of transport handling and eventual disposition in the
14 repository, particularly since there isn't a strategy for
15 thermal loading in the repository.

16 MR. SCHAUS: Well, we're still using the constraint that
17 Steve showed earlier and that I reiterated in one of my
18 earlier slides that we would use a maximum of 1500 watts per
19 canister based on the standard canister, the .6 cubic meters
20 of glass kind of a thing.

21 Actually, our waste--and when I say our waste, the
22 defense waste in general is fairly cool compared with the
23 spent nuclear fuel. I think a lot of the thermal
24 considerations with regard to our waste form really has more
25 to do with the centerline temperature of the glass itself and

1 the long-term performance of the glass rather than
2 necessarily the thermal load it adds to the repository
3 itself.

4 We've got some glass experts back in the audience,
5 Tom Weber, Jim Creer, if either of you guys want to add
6 anything to that. But my understanding of that thermal
7 limitation is really more one to do with the waste form and
8 its performance rather than any consideration of the heat
9 that it would add to the repository system.

10 Does anybody else care to--

11 MR. RANDKLEV: You put so many watts into the can, and
12 that's going to raise that centerline temperature up, and you
13 don't want to get up into the region where you could end up
14 with devitrification problems. And that's, again, from the
15 repository perspective.

16 DR. BREWER: So, what, in Mr. Gomberg's presentation, it
17 was 400 C. was the less than or equal to?

18 MR. RANDKLEV: There's a specification that puts you
19 down below that level is where you want to be in terms of
20 temperatures. But that's the historical concern.

21 DR. BREWER: Okay. It's just different kinds of wastes
22 and I'm trying to get a sense of what the difference is.

23 MR. SCHAUSS: Well, understand it isn't so much really
24 different, because there's still a lot of cesium and
25 strontium in the wastes that we're currently planning to

1 vitrify, and also remember that the cesium and strontium
2 materials came out of these very wastes. So what we're
3 talking about doing is perhaps putting back in.

4 DR. LANGMUIR: Langmuir; Board. One last related
5 question. I was pleased to see you're going more geologic,
6 or going to materials that are environmentally very stable
7 for aluminosilicates as a possible glass. What about the
8 devitrification temperature for those? I would assume
9 they're higher than borosilicates, that you've got a better
10 material there for a high temperature repository. Is that
11 true? Have you looked at that?

12 MR. SCHAUSS: I'd have to defer to somebody who is more
13 of a glass expert than myself in that light, Ed or--

14 MR. RANDKLEV: That's certainly a consideration. But,
15 again, it's the repository program that has to really think
16 about that in the context of the emplacement schemes and the
17 performance allocation strategy that they are thinking about
18 as a reference relative to waste form versus other barriers
19 as part of the waste package.

20 DR. LANGMUIR: It's giving you some options at least.

21 MR. RANDKLEV: Sure. It's one of the parameters that
22 can be dealt with.

23 DR. BARNARD: Bill Barnard; Board Staff. As I
24 understand it, OCRWM plans to intermix the defense waste with
25 the spent fuel inside the repository. If you had a

1 preference, would you mix them or would you have a dedicated
2 part of the repository just for the defense waste?

3 MR. SCHAUSS: You're asking EM? I don't know that we've
4 taken a position one way or the other on that, Bill. I think
5 what we have said is that we will provide a waste form and
6 canister that meets the specifications that are imposed by
7 the repository, and that what the repository chooses to do
8 with it in terms of final emplacement, whether it's
9 segregated or commingled, is their call.

10 MR. GOMBERG: These are the kind of things that I think
11 we're still studying that we really don't know what the
12 optimum blend is in the facility to keep a certain aerial
13 power density or other things, and those are all still
14 somewhat being developed as we get more information on the
15 characteristics of the site and the type of heat loads that
16 it can handle. So I don't know that we can really answer it
17 if we have a specific preference or not. But the spent fuel
18 tends to be much hotter, relatively, and the glass tends to
19 be much cooler, and that may be a basis for a loading
20 strategy as we get more information on the site.

21 DR. VERINK: Carl, I think you had a question.

22 DR. DI BELLA: Yeah, thanks. Carl DiBella of Staff.
23 You mentioned a study done by, I think, WESTON that showed
24 the disposal fee would decrease.

25 MR. SCHAUSS: Right.

1 DR. DI BELLA: And that certainly makes sense. But I'd
2 like you to go into a little bit more detail, because a
3 larger--the amount of repository area that you occupy is
4 fundamentally going to be determined by the amount of heat
5 you put into the repository. And you're not doing anything
6 with a larger container to modify the total amount of heat
7 that you put into the repository.

8 MR. SCHAUSS: That's right.

9 DR. DI BELLA: And so there has to be some other
10 contributing factors to reducing the disposal fee I would
11 guess, things like the number of movements into the
12 repository or transportation costs. Is that what we're
13 talking about?

14 MR. SCHAUSS: I believe that's the handling, you know,
15 the transportation costs are reduced, the handling on site,
16 that kind of thing. And, again, we provided a, I will call,
17 a four by four matrix to RW. We were at that time looking at
18 four different canister sizes and four different pretreatment
19 scenarios, canister sizes ranging from, and using the
20 standard DWPF canister, all the way up to a self-shielded
21 cask type canister with a nominal 10 cubic meter volume for
22 the glass.

23 The pretreatment ranged anything from none at all,
24 take it directly out of the tanks and vitrify it, all the way
25 to some of the extensive pretreatment scenarios that we've

1 been looking at where, as Don Wodrich was describing, we
2 would go after the sludges very aggressively with acids and
3 thereby reduce the amount of high-level waste sludge
4 considerably.

5 If we looked at the scenario that we're currently
6 using as our planning base, the caustic sludge washing and
7 the various canister options, just focused on that particular
8 one, my recollection is, and these are kind of round numbers,
9 but for disposal fee of the canisters associated with a
10 sludge washing where we're looking at nominally 20,000 cubic
11 meters of glass, it was something on the order of \$7 billion.

12 When we went to the elongated canister, 15 foot
13 long, two foot diameter, that disposal fee dropped to
14 something under 4 billion. It was like 3.9, as I recall.
15 Going to the very large container dropped it to just a little
16 over 3 billion. And then because of things like weight
17 considerations and so forth when we went to that same
18 envelope but a shielded type of a cask, it kicked the cost
19 back up to about the same, right at the \$4 billion level,
20 about the same as the elongated two foot diameter canister.

21 Again, we gave them our scenarios. They cranked it
22 through their cost model, kind of a black box. They gave us
23 the numbers back. But that's been well documented, that
24 information, they sent us a very nice report July of '93.
25 I've got file copies of that if you're interested in getting

1 that. Steve, I think you've got that as well.

2 MR. GOMBERG: Yes. As a matter of fact, we recently did
3 some informal work looking at smaller canisters and provided
4 that input also. The model we've been using that WESTON uses
5 is the TSLCC, the Total System Life Cycle Cost Analysis
6 model. There are errors, obviously, in predicting costs at
7 that level, but basically what we do is we put together an
8 assumptions document that provides the operating and material
9 assumptions, and then when Steve gives us parameters to
10 change, we can use that as the basis for identifying the
11 costs, and that's what we give back to him based on the best
12 available knowledge or understanding that we have on their
13 options and how that we affect the total system life cycle
14 costs.

15 DR. VERINK: One final quick question from Langmuir.

16 DR. LANGMUIR: Langmuir; Board. Maybe I've already
17 heard the answer and wasn't listening properly, but you seem
18 clearly excited and it sounds good to me in principle that
19 you can go up to 50 per cent waste in the aluminosilicate
20 glass as opposed to a max of maybe 25 per cent radionuclides
21 and other products in the borosilicate. Are we getting 50
22 per cent to the point where the thermal loading contribution
23 of the glass has become a significant factor in placement in
24 the repository?

25 MR. SCHAUSS: Potentially. Again, it depends a lot on
26 what the particular waste stream is, what the constituents

1 are of that particular waste stream that's being vitrified.
2 And, again, that would have to be a consideration as we trade
3 off higher waste loading versus higher thermal loading, which
4 could tend to be a negative as well. But, again, if those
5 are less prone to devitrification, which is the primary
6 constraint on the 1500 watts limitation, then we also may
7 have some additional latitude there as far as the thermal
8 loading is concerned.

9 One thing, you know, so we don't get too enamored
10 with the higher waste loading, one of the things that we do
11 sacrifice, obviously, is the higher volatility question that
12 we have to deal with here on site in terms of designing off
13 gas systems that can accommodate the higher temperature
14 melters, and also what do you do with that waste stream then
15 once you've captured it in an off gas system. So, you know,
16 there's lots of pros and cons that we have to look very
17 carefully at as we develop a total melter system.

18 DR. VERINK: Thank you very much. Our final speaker for
19 this morning is Ed Randklev.

20 MR. RANDKLEV: My name is Ed Randklev. I'm with
21 Westinghouse. I'm currently working with the Vitrification
22 Development Group. I've been on HWVP before its cancellation
23 here of recent, and in years past, I had worked on the Basalt
24 Waste Isolation Program, which is of course the RW side in
25 the investigation of the Hanford Basalt as a possible

1 repository. And what I'd like to talk to you in a little bit
2 more detail, although there's been quite a bit of discussion
3 already this morning about these cesium and strontium
4 capsules, I'm going to give you a particular presentation on
5 a little more background, and we can talk some more about
6 some of the points that have been raised if you'd like.

7 So this is the matter of the disposal of the cesium
8 and strontium capsules. Again, as Steve and some others have
9 mentioned, this is cesium and strontium material that's in
10 the form of salts that is doubly encapsulated in metallic
11 barriers stored on site in water basins to keep them cool.
12 That material came out of the high-level waste tanks and was
13 purposely extracted out of those wastes in order to get the
14 high heat contribution of those materials out of the waste so
15 that they could compact, if you will, more waste into the
16 tanks and not run into a heat problem, because both of these
17 salt materials that we're speaking of are relatively short
18 half lives, they're on the order of 29 and 30 years
19 respectively. This is cesium-137 and strontium-90. So we're
20 talking short half life material, very high, you know,
21 activity, decay activity and, hence, a high heat--decay heat
22 producer.

23 Going back to some numbers, around 1990, to give
24 you a perspective, this inventory of cesium and strontium
25 capsule salt materials accounted for approximately 42 per

1 cent of the total cumulative inventory of radioactivity of
2 wastes on the Hanford site. So we're talking from a curie
3 standpoint a significant fraction of the total inventory of
4 such materials on the site. And, of course, as part of the
5 Hanford site cleanup, the manner of disposal of these cesium
6 and strontium capsules needs to be resolved, and it needs to
7 be resolved in a fairly near-term manner relative to some
8 planning.

9 The background that's been mentioned, particularly
10 by Steve's discussion, was that if you look at the current
11 NEPA type documentation, or even any other documentation, and
12 that's certainly the higher level documentation that we would
13 point to at this time, you find that in the '87 EIS for the
14 Hanford site, it called for cesium and strontium capsule
15 materials, once overpacked, as being candidates for
16 repository disposal. The overpack in that case would be some
17 sort of very likely metallic shell for transportation
18 purposes, of which the capsules would be put so many at a
19 time into that carrier device, if you will, and transported
20 to the repository for emplacement within presumably some
21 other barrier system for containment, and would go from
22 there.

23 The record of decision, which was issued in '88,
24 likewise reiterated similar language, saying "Prior to
25 shipment to a geologic repository, these wastes will be

1 packaged in accordance with repository waste acceptance
2 specifications." All of that did not presume that these
3 materials were automatically acceptable to a repository. It
4 just said that, hey, the preferred option at this time is
5 judged to be try to simply directly dispose of these
6 materials in the repository and, therefore, what needs to be
7 done is for now the EM side to deal with RW in the repository
8 program and disposition this question; are these materials
9 suitable in some form of waste packaging as disposal
10 candidates in the repository.

11 Likewise, this question of disposal was reiterated
12 again in terms of even the more recent signing of the
13 renegotiation of the Tri-Party Agreement. As Steve noted,
14 the latter statement here refers to some work that goes back
15 to around 1990, started a little shortly before that, where
16 there was an evaluation done looking at the feasibility of
17 taking the salt materials out of the capsules and either
18 directly adding the salt materials selectively to certain
19 waste types that would be fed into then the reference was the
20 HWVP melter system, to go into a borosilicate glass, or to
21 process the salt materials in some manner to change their
22 compound form likely to a carbonate, nitrate, things like
23 that that would be a little easier to accommodate in the
24 glass. Because if you put just cesium chloride and strontium
25 chloride in, you run also chloride and fluoride limitations

1 relative to a glass being able to handle these materials from
2 a solubility consideration.

3 And so that investigation was done. It was by no
4 means what we would say a definitive statement on the
5 question. It gave some preliminary costing analysis and
6 particularly addressed the primary considerations of the
7 technical feasibility. And certainly it was technically
8 feasible, but it is by no means without cost and impact on
9 numbers of glass logs and difficulty in doing the job.

10 Now, the form, as we've already talked about it in
11 some of this conversation, is in the form of, for cesium,
12 it's in the form of cesium chloride. It's a simple cubic
13 material that was--contains a certain fraction of impurities
14 such as sodium, potassium and rubidium. These are again in
15 solid solution type materials from a phase consideration with
16 cesium chloride. And the impurity levels are on the order of
17 90 percentile plus for the cesium content of the material.

18 In some of the cesium capsules, there is evidence
19 that some significant impurity levels of silica, aluminum and
20 a smaller amount of iron have come in via some filtration
21 material, zeolite type filtration materials, I believe, that
22 were part of the processing stream for the cesium chloride.
23 Cesium chloride was processed in a system that melted this
24 particular chloride. It's got a melting point in the
25 neighborhood of 600 and some degrees, I believe. It might be

1 a little lower than that. I have some information on it.
2 And of course the impurities will again suppress that
3 downward. It was melt cast in the vertically hilled inner-
4 capsule, and so there is shrinkage void, you know, in the
5 capsules. They're not just 100 per cent fill in the capsule.
6 And then that capsule was sealed and it's subsequently
7 housed in another one.

8 The primary isotope is cesium-137, as I mentioned,
9 the short half life. There is a small, very small fraction
10 of cesium-135, which has a very long half life, 900,000-some
11 years, and that inventory is on the order of only about 1,000
12 curies out of the total, which this one for the cesium-137
13 that was extracted, we're talking upwards of, you know, 90 to
14 100 megacuries, so we're talking a much different level of
15 material.

16 The fraction of radioactive 137 versus the stable
17 cesium is on the order of a third. It's plus or minus a bit
18 on that. The cesium-137, from a decay consideration, goes to
19 a metastable barium, and then to barium-137. That ends up
20 changing the chloride from a chemistry consideration to a
21 barium dichloride eventually so that you get some free
22 barium, is what it amounts to, as you get through the decay.
23 So over time, these are going to go through a chemical
24 transformation, if you will.

25 For the cesium inventory on site, the current

1 inventory that we would be working with in terms of capsules
2 that have not been cut or processed in any way is
3 approximately 1338. And I believe that number includes the
4 several hundred, it's on the order of between 300 and 400
5 capsules that are going to be brought back. The first
6 shipment I think has already arrived, and they come back
7 something like 16 at a time I think from Denver.

8 A number of the cesium capsules, several hundreds
9 of them, had been shipped off site some ten to fifteen years
10 ago after their completion for a different mission for these
11 materials, and that was they were used as sources for
12 irradiators, for radiating all sorts of things for
13 sterilization purposes. And there was a leak in one of those
14 through a particular incident, and the DOE terminated that
15 program, and the capsules from the other irradiator users
16 have already arrived back on site, and these ones from Denver
17 are the last ones.

18 So the inventory we would talk about in terms of
19 whole capsules is on that order. There's approximately 2.7
20 kgs of cesium chloride per capsules. This just gives you a
21 breakdown of what we're talking about then for total masses
22 of materials. And we spoke about this concern over the
23 fluoride, chloride source term, so we're talking, for that
24 many capsules, you'd be talking on the order of 761 kgs of
25 chlorine that, if you will, would be available. Because as

1 has been noted, certainly cesium chloride as a material is
2 highly soluble in water, whether it's cold water or warm
3 water. It's more soluble than table salt, sodium chloride,
4 if you will.

5 Curie levels, as I mentioned in terms of 1995
6 reference point, we're talking approximately 90 megacuries of
7 cesium inventory for the 137. That works out to
8 approximately 165 watts per capsule. But by 2010, we're
9 already down to 63 megacuries, and dropping the wattage down
10 to 116. This is just giving you a perspective on how rapidly
11 this inventory is decaying away. In 300 years, it's
12 essentially, you know, down below levels you don't worry
13 about it, and at 1,000 years, for like the substantially
14 complete containment period for the repository, is zero. The
15 only thing left relative to the cesium is this total
16 inventory of 1,000 curies of 135. That's from a
17 radioactivity standpoint.

18 Strontium, on the other hand, is in the form of
19 strontium fluoride. Its impurities consist primarily of some
20 other fluorides of, in this case, barium, calcium and sodium.
21 This is, again, in decreasing order of relative presence for
22 that. And, again, the percentiles are on the order of 5 to
23 10 percentile contamination from these impurities.

24 The strontium fluoride has a much higher melting
25 point. It was not melt cast, as was the cesium chloride.

1 Instead, for the strontium fluoride, it was put into a powder
2 or granulated form from a processing standpoint, and then
3 that material was loaded into this inner capsule and
4 compacted in some manner. And with the temperatures that
5 it's been at for some time, this is not something that just
6 flows around in there. It's reasonably well agglomerated and
7 packed down.

8 The radioisotope of concern is the strontium-90,
9 which decays to yttrium-90, which eventually decays to a
10 zirconium-90, and again that also leads to a chemical
11 reformulation, because you don't end up with a difluoride,
12 you end up with a zirconium tetrafluoride, which leaves you
13 with a free zirconium in that process.

14 The strontium capsules are the lesser number.
15 We're talking approximately 610 in this inventory. The
16 strontium capsules have remained on site, to my knowledge.
17 There might have been a very few of them--there have been a
18 few of them shipped off for some other heat source
19 applications. They were not used, to my knowledge, as
20 irradiator source materials. But unlike the cesium capsules,
21 the strontium capsules, except for a few capsules, have
22 largely remained on site.

23 Their inventory is again, because of the same
24 sizing involved, approximately 2.7 kgs, giving you a
25 breakdown of the following, and again, this free chlorine, if

1 you will, would be on the order of 498 kgs. So we're not
2 talking huge amounts, but it's still appreciable in terms of
3 the overall aggregate inventory.

4 Curie inventories is 95, puts you on the order of
5 51 megacuries, gives you 273 watts per capsule. And,
6 likewise, at 2010, you're already down to 36 and 195. They
7 remain a little hotter because of the little difference in
8 the decay chain traps some of that heat internal, it's a beta
9 decay, and they have substantially higher capsule
10 temperatures, if you will, than the cesium capsules.

11 The barrier system, as we've already mentioned, is
12 a matter of two metallic capsules, both well sealed, flat end
13 cap type systems, one inside the other. In the case of the
14 cesium capsules, the inner barrier is a 316L stainless, the
15 outer barrier is also 316L. In the case of the strontium
16 capsules, which I mentioned run a little hotter in
17 temperature, they chose a Hastelloy C-276 alloy, which is a
18 nickel base highly corrosion resistant alloy from Haynes.
19 And then the outer barrier is the stainless steel 316.

20 And the way the selection methodology, there was a
21 great deal of work done on this question of the encapsulation
22 back in the early Seventies, in particular, by principally
23 some people at that time from Battelle. The inner barrier is
24 designed so as to provide primarily the corrosion
25 containment, and the outer barrier is looked upon as

1 providing the structural containment, if you will, relative
2 to this compositing of barriers. And then as I mentioned,
3 both of these capsule waste materials are held in water
4 storage on site. As even in the case of the irradiators that
5 used them, the capsules were always water cooled except when
6 they were pulled out to irradiate the product.

7 Here's an extract from an older report so that the
8 numbers on temperatures and what not relate back to some of
9 the higher calculational levels of activities, if you will.
10 If that were in 1995 numbers, those would be somewhat lower.
11 But this is basically the cut-away of the system. It's, as
12 I said, a notched but still flat end cap seal system with the
13 waste form in the middle, here's the inner barrier sliding
14 in, if you will, shown partially extracted into the--and this
15 is the outer barrier.

16 The dimension is again on the order of the two and
17 a half inches diameter by 20 inches long. This gives you the
18 breakdown in terms of centimeters. I think that's as much as
19 there is to relate on that one.

20 And where we're at, if you will, in this fiscal
21 year is trying to get at some of these questions and
22 resolving what we do with these materials. By we, DOE
23 overall, EM and RW putting their heads together. The major
24 question to be answered is can the proposed geologic
25 repository actually accommodate disposal of the cesium and

1 strontium capsules in some packaged form. That's, again,
2 certainly presuming that either if we ship the capsules just
3 inside of a cask, just like they're being shipped up here
4 from Denver, or if we package them even in some further
5 handling envelope.

6 When they got to the repository, I think the
7 general presumption would be, and has been all along, that
8 they would go inside of, again, some containment system from
9 the standpoint of isolation that the repository program would
10 be addressing from their perspective of the circumstances of
11 the repository, its geochemistry and thermal load, et cetera.

12 If the two waste forms, that would be the waste
13 form--when we say waste form in this case, we are talking
14 just as if you were saying glass, we're not talking the
15 canister, we're talking the glass, and in this case, we're
16 talking the salts--if the cesium and strontium materials,
17 that's the cesium chloride and the strontium fluoride waste
18 forms, are they acceptable. And we've already heard a number
19 of questions certainly citing the expected and general
20 concern that is out there to be addressed, which is can these
21 materials actually be tolerated in the repository from a
22 performance consideration, wherein the radioactive
23 inventories of these materials will be gone, zero, at the
24 time of the end of the substantially complete containment
25 period of 1,000 years. They will be, you know, decayed away

1 to negligible levels even at 300.

2 Your waste packages, they're talking that period
3 being the 300 to 1,000 years, and then the gradual release on
4 out to 10,000 years. Well, the concern I think that is
5 largely raised here is, okay, you've got some barrier system
6 for these materials, but what happens if and when some of
7 those barrier envelopes fail, either just stochastically or
8 because of some known degradation processes that take place,
9 and you start leaking out what would then be some highly
10 soluble inventory of cesium chloride, which is putting this
11 chloride contamination, if you will, in the ground water, in
12 particular, as well as the fluoride is much less soluble.
13 We're talking a few milligrams per liter of water, whereas in
14 the cesium chloride, you're talking grams per milliliter of
15 water. So we're talking things that are highly soluble, and
16 there's no question about that.

17 If the materials would be considered acceptable,
18 given that background of their radioactive and chemical
19 impact on things, then are the respective capsule types
20 acceptable as part of the shipment? What that's really
21 referring to, and I should have probably stated it a little
22 more clearly, is can we just ship you the capsules, or do we
23 need to put them into some other handling envelope.

24 Some of the work that was looked at a number of
25 years ago simply envisioned taking a DWPF type canister and

1 just creating a grid inside and axially putting four of the
2 capsules, just as an example, right down the middle
3 centerline. This was dictated just from a simple starting
4 consideration by the thermal inventory, and the longer we
5 wait to package these up, the less that inventory is and
6 presumably the more of these you could stuff into a can
7 before you get to these thermal limit considerations.

8 Now, here we're not talking of thermal limit based
9 on devitrification concerns. We'd talk about a thermal limit
10 based on, for instance, you wouldn't want to melt the cesium
11 chloride, for instance. You don't really even want to go up
12 above the solid transformation temperature. There is one at
13 400-some degree level in the cesium chloride, because there's
14 a fairly good volume expansion at that point and you probably
15 wouldn't want to do that. But you'd probably be concerned
16 more about thermal burdens in relation to maximum rock
17 temperature or something like that that you were concerned
18 about.

19 If either of the two, the waste form and the
20 capsule types, must be overpacked, what overpacking concepts
21 would be considered acceptable and what would their
22 acceptance specifications be? That just gets back to
23 optimization questions, largely. Since we're talking a
24 handling package, it's a matter of what package would be
25 considered programmatically the most compatible with the

1 needs of the repository to handle a few hundred of these.

2 And the last one is, of course, the one we've
3 already talked about a fair amount, which is this matter of
4 well, okay, if either or both of these waste forms, and we'd
5 like to treat them as individual cases to be dealt with
6 because there are substantial differences between the two in
7 terms of their chemistry and some other considerations, if
8 either of them are not acceptable and the presumption is that
9 we would put them into the referenced high-level waste stream
10 and waste form for the system, that means we'd put them back
11 into the glass, what waste form packaging concepts would be
12 acceptable and what would those acceptance specifications be?

13 This again gets into the question of how we would
14 blend that material into some glass material. It's one thing
15 to blend it over the whole spectrum of streams, and
16 especially if our streams end up being highly blended
17 themselves, that would be one set of considerations relative
18 to concerns over either thermal limits initially for cesium
19 and the strontium contribution, as well as solubility and
20 volatility considerations for putting especially cesium into
21 the feed stream and trying to get it into a glass, because
22 you get a fair amount of volatility of this.

23 It also relates to if the chloride, if the cesium
24 chloride for instance was just blended directly, you've got a
25 chloride limit consideration. And that gets back to a needed

1 dialogue with the repository on what sort of thermal burden,
2 what sort of specialized waste form consideration we might
3 want to talk about, because the repository program, we would
4 certainly hope and expect that the repository program would
5 be interested in looking at this question from the standpoint
6 of is there something special we can do with this material in
7 terms of emplacement that would somehow mitigate some of the
8 concerns.

9 You know, it isn't as though there are thousands of
10 these packages. There are a few hundred of them. If we even
11 put just four or five to a can, there aren't that many. It's
12 a matter of what could you do with them that would lessen the
13 impact on a repository setting.

14 From our standpoint, we have had some contact, and
15 we've had one very useful and helpful exchange meeting just
16 in March with the Yucca Mountain folks and the DOE
17 counterparts, TRW staff and the DOE people down at Las Vegas,
18 where we were talking about these two waste form materials as
19 well as the topics that Steve brought up about some of the
20 alternate for non-standard waste forms that Hanford is
21 thinking about. But as yet, we have not, from our
22 perspective, submitted a formal request yet for
23 dispositioning this question. We're at a dialogue stage,
24 technical information exchange.

25 There has been some--I'll just mention there has

1 been some other inquiries made by some DOE staff in relation
2 to another program that concerns Hanford that also would have
3 to deal with this question of what do you do with these
4 capsules if they had to be blended into the waste.

5 And so the RW folks are internally aware of this
6 concern about these capsules and have been giving it some
7 consideration, because they have certainly given indication,
8 going back definitely to the, say, 1990 time frame, as an
9 example, just Yucca Mountain, there had been informal
10 contacts at the time of this evaluation looking at placing
11 this material into the glass, and some of the Yucca Mountain
12 staff had given the opinion even then that certainly there
13 were concerns about receiving these waste form materials as
14 is in the capsule. And the concern, as Steve has accurately
15 pointed out, is principally the one of solubility concerns
16 for these waste forms, as well as the resultant impacts on
17 corrosivity, if you will, or corrosion concern.

18 Now, I'm not entirely sure whether they were
19 thinking about whether or not it would be hard to contain
20 these materials. I should comment about that one because the
21 metallic packages that they're in have stood up very well.
22 The work that was done back in the early Seventies when they
23 went through the material selection on these capsule
24 materials made the determination that the primary attack of
25 the alloy on the inner surfaces was occurring because of

1 certain trace impurities that were in the materials, as an
2 example. Principally in the cesium case, it was the presence
3 of some chrome and iron chlorides that were identified as
4 having been the aggressors in stimulating some of the attack.

5 Those materials are present in very small quantities, and
6 the expectation and even the post-test results, I believe
7 have borne out that those materials get exhausted after a
8 period of time, and then the attack just falls off from
9 there.

10 The wall temperatures on these materials, they were
11 looked at from the strontium capsules perspective. They were
12 looked at in the alloy selection and the Haynes C-276 was
13 looked at from the standpoint of being able to tolerate a
14 wall temperature of 800 degrees C. and still have on the
15 order of a 20 to 30 year life time. That was, again,
16 particularly looked at very aggressively when they thought
17 about possibly sending some of these off site for other
18 usages out in the commercial sector.

19 So if the wall temperatures, and the longer we wait
20 the lower they are in curie levels and wattage and,
21 therefore, temperature, you get the temperatures of these
22 capsule walls down in the order of 300 to 400 degrees C., the
23 expectation is that they will contain this material
24 indefinitely. There isn't an aggressive attack going on from
25 the materials, because there's no moisture involved in these

1 and they don't have a problem with radiogenically produced
2 gases, et cetera.

3 Anyway, there's been the voiced concern about the
4 solubility and corrosion concerns. In the case of where
5 we're at now, we are simply at the point of wanting to
6 continue this dialogue. The meeting in Las Vegas back in
7 March gave us some direction that we needed to go talk to DOE
8 RW headquarters people that are more directly associated with
9 the topics of waste acceptance from a programmatic
10 standpoint, and we have done that and clarified what amounts
11 to the at least next technical step we need to take, which is
12 to really go back to Yucca Mountain and resume the technical
13 dialogue. And so I think everybody is getting a better
14 perspective on where we're going to have to go and how we're
15 going to start dealing with dispositioning the question
16 formally.

17 I believe that's all I've got to put up there in
18 terms of any further slides, and hopefully I've clarified a
19 few of the other points that have been raised. And if you've
20 got any questions, I'd be happy to try to answer them.

21 DR. VERINK: Any questions from the Board?

22 DR. LANGMUIR: I was just looking at the size of these
23 capsules and they're 53 centimeters by 6 2/3. Among all your
24 options, have you considered putting them inside of other--of
25 a glass or inside of a container which had much thicker

1 walls, perhaps wrapping it with a thicker walled low
2 corrosion material as a cheaper route than simply taking them
3 all apart and having to reconstitute the chemistries and
4 start over again?

5 MR. RANDKLEV: The idea of just dumping them in a
6 canister and pouring glass around them has been speculated on
7 years ago. I know I personally have heard it. One of the
8 concerns you certainly get into in a situation like that is
9 the glass is highly thermal insulating and you've got to be
10 somewhat sensitive to whether or not you end up melting in
11 the case of cesium chloride the material inside. I'm not
12 sure that would necessarily have bought you anything.

13 The idea that you could still take the capsules as
14 received from us in some either additional handling package
15 and put them into a particularly robust waste package,
16 something even more robust than is envisioned for the
17 standard, you know, spent fuel and/or defense class packages,
18 is likewise there as an option, and that's a perspective
19 we're certainly interested in hearing more about as a
20 possibility from Yucca Mountain or tailoring the emplacement
21 in some way that might help mitigate the possible impact of
22 any, in this case, say the chloride, fluorine contamination
23 of the ground water.

24 DR. LANGMUIR: Do you think those contaminations would
25 be--you'd have four metric tons, it looks like, of these

1 materials overall. I wouldn't think a fluorine effect would
2 be very significant. Maybe so. About the same size as the
3 mineral fluoride, about 8 milligrams per liter of fluoride.

4 DR. VERINK: Carl, I think you had a question.

5 DR. DI BELLA: Yeah, I think in theory anyway, the way
6 one would--a major way one would determine the acceptability
7 of a particular waste form and its accompanying waste package
8 would be by means of a performance assessment. Have you in
9 any of your dialogues so far with RW heard them plan to do a
10 performance assessment, or are you going to do a performance
11 assessment?

12 MR. RANDKLEV: No, we would not attempt to do their job,
13 if you will, because they have a site specific perspective
14 that we really need to get from them. We had discussion
15 while we were at Yucca Mountain about the status of the
16 performance assessment work in the Yucca Mountain program.
17 As you know, they're going through a really large replanning
18 effort in association with this major decision that's been
19 made regarding this multi-purpose canister concept for spent
20 fuel, and they indicated to us that the performance
21 assessment activity was being scheduled out on a two year
22 repetitive interval type iteration, as was the costing
23 analysis work, of which they've assumed now this role of the
24 WESTON because we asked about that also. They said they've
25 taken on this cost model work from WESTON and will be doing

1 that internally to the Yucca Mountain project, as we
2 understand it, in the future.

3 None of the assessment work, et cetera, that we're
4 referring to here has, to our knowledge, and by any
5 indication they gave us, given any consideration as yet,
6 formal consideration, to this matter of the cesium strontium
7 capsules. However, informally, we're certainly aware that
8 parties associated with that performance assessment work are
9 aware of this question and I'm sure their opinion has been
10 sought over the last several months, because there has been
11 some dialogue and inquiry, you know, made between EM and RW
12 about these capsules. And it's just that I can't presume to
13 say what the level of that, you know, consideration has been.

14 At the meeting we had in March, that was primarily
15 an information meeting on our part to present them some
16 topical information, and they likewise gave us back a good
17 perspective on where their program was at that point in time
18 with regard to waste package design considerations and some
19 of these downstream planning, you know, activities--or not
20 downstream--planning activities that they were actively
21 involved in at that time, considering topics like where is
22 your performance assessment activity in relation to this.

23 So we hope to be catching up with that next
24 iteration, that is, become a part of that next iteration for
25 certain in relation to these ideas on options that Hanford

1 has on alternate waste forms, as well as the consideration of
2 cesium and strontium capsules. And we intend to push ahead
3 with this cesium and strontium capsule question in a direct
4 and, you know, compatibly aggressive manner between the two
5 programs, because we feel that one is ready to go.

6 We have as much information as we think is needed
7 for people to be able to do a decent technical consideration
8 of can you tolerate these materials in some package form in
9 the repository. And there's nothing to prevent us from,
10 other than other program schedules, from moving ahead on
11 that, seeking a disposition to this overall question.

12 Because from our end, there's a need to get on with this and
13 try to clarify this position, because if you are going to
14 reprocess these materials and have them as part of your high
15 level waste stream, even in the time frames that have now
16 been somewhat delayed via the TPA agreement for the high
17 level--resumption of the high level waste processing, these
18 materials will still be thermally active enough and they're
19 there chemically such that they present some considerable
20 challenge to incorporating into practically any vitrified
21 high level waste product that one might want to think about.

22 DR. VERINK: Bill Barnard, I think you had a question.

23 DR. BARNARD: Bill Barnard; Board Staff. You indicated
24 on one of your slides that these capsules have an inner
25 capsule and an outer capsule. Is there any way that you can

1 easily check the condition of the inner capsule without
2 disassembling it?

3 MR. RANDKLEV: I'm not sure what has been looked at from
4 that standpoint of NDE consideration. Certainly they can be
5 checked to see whether or not the inner capsule has failed.
6 And Battelle has got an ongoing program that is associated
7 with providing technical support to the integrity monitoring
8 of these capsules, and several hundred of these, or I should
9 say quite a few dozens of these have been, over the years,
10 cut open and looked at. The majority of the ones that were
11 cut were not looked at from the standpoint of a detailed
12 examination. A number of them, the salts were taken out and
13 used for other source materials. But there were certainly
14 several tens of those that have been cut open, looked at in
15 some detail, because there are a very few of the cesium
16 capsules in particular that have shown a slight swelling down
17 at one end. But that's a very small number and, you know,
18 the work has focused on things like that. When kept in cool
19 storage they're pretty modest temperatures and not much
20 happens to them.

21 DR. VERINK: Thank you very much. I think maybe what we
22 might do is allow some of those people who might have wanted
23 to ask Bill Levitan a question or two to get a shot. Any
24 questions for Bill Levitan?

25 DR. BARNARD: Bill, you gave us some indication of the

1 scale of the budgets for the EM work. What's DOE's total
2 budget? How does this compare with their overall?

3 MR. LEVITAN: I originally had that in the view graph
4 and eliminated it because it can get pretty confusing because
5 of the work for others, the power administrations.

6 Generally, the line is that EM represents about a third of
7 the DOE budget. But as I said, there are a lot of other
8 factors. It is the largest program now in DOE.

9 DR. VERINK: Any other questions for Bill?

10 MR. LEVITAN: One point I might also make on that budget
11 table is that although Hanford has seen a lot of growth,
12 because of the Federal Facility Compliance Act and some other
13 activities, restoration will be moving from a studies phase
14 to more of a remediation phase. But even here at Hanford,
15 the growth can't continue. There's just not--with EM's
16 budget flattening out, there are just going to be a lot of
17 demands and I think a lot of sites will be seeing their
18 budgets flattening out, too.

19 DR. VERINK: There would be time for one or two
20 questions from the audience if there are any. If you have a
21 question, go to the microphone and identify yourself so the
22 record is clear.

23 MR. COOK: I'm Bob Cook with the Yakima Nation. I
24 wanted to ask about the question on the hazardous waste
25 determination, how does that influence a decision as to

1 whether waste is acceptable or not acceptable? I notice
2 that's a determine that has to be made. And the other
3 question had to do with the integration with these EISs, the
4 strategy and how the RW and the ER and PEIS and all these
5 things are going to be integrated, and where the decisions at
6 Hanford fall. I mean, we're hearing a lot of things like
7 it's a fait accompli, yet the decision as far as I know for
8 glass making isn't even made yet. So those are two questions
9 that I have.

10 DR. VERINK: Steve Gomberg.

11 MR. GOMBERG: I'll answer the one on the RCRA
12 determination, and at least explain the requirement in the
13 waste acceptance requirements document.

14 There's two aspects of RCRA; one is that the
15 liquids in the tanks are currently considered RCRA
16 characteristic wastes and they are managed accordingly
17 because of their corrosivity. However they get vitrified
18 that will become a new waste form, and our concern is that we
19 have the understanding as to whether we are also accepting a
20 RCRA waste into our facility, because that kicks in some
21 other requirements that we need to impose on our facilities.

22 Currently, based on some limited information at
23 Savannah River, the glass product has been tested--it's been
24 a simulated glass product. It's been tested according to
25 the--basically, it's a grind and leach test. It's the

1 extraction--TCLP, toxicity characteristic leach procedure,
2 and it has shown that the concentrations of cadmium
3 primarily, which is one of the hazardous materials, are below
4 detection.

5 So we don't have any major concerns as of this
6 particular time that at least the borosilicate glass per the
7 mixture at Savannah River is a hazardous material for
8 disposal.

9 Other aspects, such as disposal of mixed waste or
10 RCRA waste, during the whole process of handling, operating a
11 facility, we expect there will be some RCRA waste generated
12 in small quantities. We'd be a small quantity generator and
13 we would comply with the EPA regulations on that. I hope
14 that answers your question.

15 MR. COOK: Well, at Hanford then, we'd have to grind up
16 this waste and check it out with respect to hazardous
17 characteristics?

18 MR. GOMBERG: Presumably, Hanford would need, as part of
19 the process, to take a sample of the waste. Obviously you
20 don't do it with all the waste, and presumably verify that
21 the waste is not an EP extraction procedure toxic waste.

22 MR. COOK: So the strontium fluoride would not work in
23 that case, clearly. The fluoride would be way too soluble, I
24 would think, for any acceptable fluoride. So right there you
25 can say the fluoride is not acceptable. But I'm curious

1 about the selenium and all the other heavy metals and the
2 mercury and the chrome and everything else that doesn't even
3 get necessarily incorporated into the glass when you grind it
4 up. So that's something that ought to be looked at at
5 Hanford seriously, I'd say.

6 MR. GOMBERG: I would agree.

7 DR. VERINK: Was there another facet that you were going
8 to cover?

9 MR. LEVITAN: I'll talk about the--at the headquarters
10 level, the programmatic EISs, both for the environmental
11 restoration waste management and the spent nuclear fuel EIS.

12 There's a lot of coordination that's going on
13 between the programmatic EISs on a daily basis. Within EM-
14 30, we have some people that are just their sole duty is the
15 integration of those EISs. Also recognizing that the NEPA
16 strategy within DOE is a tiering type strategy, a pyramid
17 strategy, so that the programmatic EIS will be the top level.

18 A programmatic EIS generally looks at very broad
19 programmatic concepts, that is, you come down to the site
20 level, it tiers off and uses those EISs as a basis.

21 One example is the DOE's spent nuclear fuel EIS,
22 which is just out this month, or maybe it's already out or
23 just about to come out in a draft. The Hanford EIS will be
24 tiering from that document, and there are several people at
25 Hanford who are on the review group and the working team for

1 that EIS. So it would clearly tier down from that.

2 MR. COOK: How does it fit into the RW, the disposal
3 question; is that all going to be resolved and doesn't the
4 repository also have an EIS that they have to prepare? So
5 where does that all fit together, the waste form questions
6 and the plutonium question, whether you're going to--maybe
7 you want to put the cesium and strontium in the plutonium
8 here at Hanford or something. Where does that all come
9 together so you can get on with it, that's the question,
10 particularly relative to the disposal form and the disposal
11 questions? I don't know that the RW EISs coordinate with the
12 rest of these things very well, you know, the repository
13 things.

14 MR. LEVITAN: I can't speak to the plutonium
15 disposition.

16 MR. COOK: Well, that's the key one. We're just talking
17 about it, and we'll talk about it later on this afternoon. I
18 think that's a good question that the Board should in fact
19 post to Canter when he comes in, and figure out how that all
20 gets cranked into the--I think it's a key issue with respect
21 to the cesium and strontium disposal. You could make good
22 use of the cesium and strontium in denaturing the plutonium
23 in this system.

24 MR. GOMBERG: Could I--in regards to--

25 DR. VERINK: Sure. Give you name.

1 MR. GOMBERG: Oh, I'm sorry. Steve Gomberg. I guess
2 could I make one additional point to my RCRA comment, which I
3 think is important?

4 DR. VERINK: Yes.

5 MR. GOMBERG: Based on the data at Savannah River, the
6 EPA concluded last year, or two years ago, that a vitrified
7 glass is considered BDAT, best demonstrated available
8 technology, for removing the RCRA characteristics from the
9 wastes. I think that's an important point.

10 From the RW--I'm starting to sound like you, Dr.
11 Verink--from the RW NEPA process, we've been working with EM
12 to review and provide input as necessary in their NEPA
13 documentation and their strategy. We've also been working to
14 coordinate our NEPA activities because we have, in effect, a
15 near-term NEPA activity related to the multi-purpose
16 canister, and we also have a longer term NEPA activity in
17 regards to the EIS requirement under the Nuclear Waste Policy
18 Act to support a decision to develop a repository.

19 Based on the timing of the information and the
20 details we have, the scope of the EM NEPA documents, from
21 what I can--you can correct me if I'm wrong--are somewhat
22 limited on the decisions and conclusions they can make with
23 regard to permanent disposal. So we're trying to provide
24 information that we can that's available within the scope of
25 the EM, the EIS documents, but they I think almost by their

1 timing and definition for the decisions that the secretary
2 needs to make to support the EM decisions, are not going to
3 be the final answer on the disposal issues. We will be
4 managing those, and if we need to, supplement or whatever we
5 need to do to the EISs to make sure that the secretary has
6 all the information available to her to make the appropriate
7 decisions based on the decisions and the timing that she
8 needs to make them.

9 DR. VERINK: Well, I think we've had a brisk discussion
10 on this and I see we're just a minute or two over on our
11 schedule. Lunch time is now with us. I expect most of you
12 know a lot more about where to get lunch than I do around
13 here, but there's certainly a number of places nearby,
14 including the hotel itself. But let's reconvene then at
15 1:15. We're going to start right as close to that as we can
16 go.

17 (Whereupon, the luncheon recess was taken.)

18

19

20

21

22

23

24

25

1

2

AFTERNOON SESSION

3 DR. VERINK: The first speaker this afternoon is Jerry
4 Ethridge, and I guess we'll go ahead and start and let them
5 catch up.

6 MR. ETHRIDGE: My name is Jerry Ethridge. I'm from
7 Pacific Northwest Laboratories, which is operated by Battelle
8 Northwest, and Battelle is in a unique situation related to
9 the spent nuclear fuel project in that it is assigned to a
10 Westinghouse project, the M&O contractor here at Hanford, and
11 I manage that part of the project that is responsible for the
12 acquisition, development of technology that might be
13 necessary to either mitigate, remediate or solve some of the
14 problems related to spent fuel here at Hanford.

15 Very quickly, I'd like to talk about who's who in
16 the project, including DOE and Westinghouse, the status of
17 where we're at today, where we're planning on going, and this
18 is where I'll provide a little bit more of the technical
19 information related to the project and to the fuels that fall
20 under the project, some of our strategic objectives related
21 to the K Basin fuel, and I'll explain what those are in just
22 a moment, and then talk about where we're going.

23 This is a who's who diagram for starting at the EM
24 level, operations office, this is John Hunter here at DOE
25 Richland, this has an acting director, Mr. Jim Daily, and

1 then underneath that is what we call--or what he calls his
2 project, if you will, and he has an EIS section, which is
3 managed by Suzanne Clark, also of DOE. Several of these are
4 open. The K Basin where most of the fuel resides is managed
5 by Mr. Al Colburn, and they're in the process of filling the
6 rest of those positions. So that's the DOE lines of
7 authority, if you will.

8 Taking that down a little bit further, Mr. Lamar
9 Trego is the president of Westinghouse Hanford Company, and
10 obviously by placing his spent nuclear fuel project at that
11 level, he is indicating the priority he's placing on solving
12 the spent fuel problems here at Hanford.

13 If I break that out a little bit further, the
14 basins and the operations of the basins are under the
15 project. So it's not like we have a bunch of people
16 responsible for the engineering that aren't kicking the tires
17 every day. No, we've got the basins underneath the project
18 and its operations.

19 Baseline control, we have an engineering and a
20 systems engineering group. We have a fairly aggressive
21 regulatory interaction and public involvement section. This
22 is the area that I'm responsible for, the technology side.
23 And in a matrix fashion, we have the support, the
24 procurement, safety, QA and those areas.

25 This is what's really driving us, is our number one

1 priority is protecting the Columbia River and of course the
2 employees at the plant. No discharge from the facility and
3 the site is acceptable. That's the goal we've set. In order
4 to do that, we need to isolate the fuel from the environment,
5 both water that may be leaking to the environment, or air or
6 whatever, and we can do that, we feel, by putting the fuel in
7 safe storage away from the Columbia River. And I'll show you
8 where some of that is at and put that into perspective for
9 you a little bit in just a moment.

10 The Defense Nuclear Facilities Safety Board who has
11 jurisdiction over this fuel in 94-1, their recommendation is
12 that the program that you have laid out we think is the right
13 one, it's just a little too slow. We want you to accelerate
14 that. And, again, the most important criteria is remediate
15 if you can the K-East Basin fuels and get them off the river.
16 So we've taken that very seriously and we have developed a
17 program that--we've accelerated our program to try and meet
18 that recommendation.

19 What do we have to do to do that? The basins, as
20 most of you know, have had a history of leaking water to the
21 environment. We need to be able to respond to that in the
22 event that occurs again, develop some plans to quickly
23 respond to that leak. The facilities are old, both east and
24 west basins. They were built to standards that do not--are
25 not consistent with today's standards. The basins have a

1 great deal of sludge, which is basically corrosion products
2 from the fuel, and the fuel is there and I'll show some
3 pictures of that.

4 So what's important is work with the aging
5 facility, develop plans that allow us to satisfactorily
6 respond to the insult to the environment, and then as quickly
7 as possible, understand what we have in the basin and then
8 what we do to get it out of there.

9 It sounds easy. In reality, it's a puzzle for us,
10 and this is where the formation of this project I think has
11 made great strides to where we were not very long ago
12 relative to dealing with the spent fuel at Hanford.

13 At this point, we can go and we can isolate the
14 source term, but we really don't have any place to take the
15 fuel off the river. So that's something the project is
16 working on. This is metal fuel. It's a little unique. You
17 can't use civilian or commercial fuel practices, storage
18 practices for this fuel without first convincing yourself
19 that's the right thing to do for this fuel type. And I'll
20 describe the fuel types in just a bit.

21 What we do today we don't want to make bigger
22 problems for my child and my grand kids, so we need to think
23 about that in a systematic way, recognizing where there are
24 technologies available in the commercial side, overseas, et
25 cetera, that may help us solve the problem once and for all

1 and not just delay it.

2 And then the strategy is whatever those solutions
3 are, they need to be sufficiently robust and sound to provide
4 us with a 30 to 50 year storage life time so that if and when
5 this fuel or material would go through a geologic repository,
6 there's sufficient time for us to safely store it before
7 that's available.

8 Some of the decisions that we need to make; what
9 are we going to do with the fuel and sludge, are we going to
10 encapsulate it, just how are we going to do that. I talked
11 about the expedited removal of the fuel. Again, the fuel is
12 unique and there's going to be--it may be necessary some
13 stabilization efforts that would need to take place before we
14 can just simply take the fuel out of the basin. We're
15 looking at that and what may be necessary to do that.

16 And then our long-term storage strategy of course
17 has got to be consistent with both the programmatic EIS
18 that's being managed by Idaho, INEL, and then also our own
19 Hanford Environmental Impact Statement.

20 Let me go on quickly then to some of the technical
21 issues with the fuel, where is it, what kind is it. You'll
22 be following some of these roads tomorrow, those of you that
23 will be going on the tour that's planned. This is the
24 Hanford Reservation, 550 square miles. We're sitting down in
25 here in Richland. This is the 300 Area, 400 Area, the 200

1 Areas, and then the Columbia River here, and then this is the
2 100 Area where all of the production reactors were located.

3 The red is where we have fuel today and where
4 fuel--where the project is responsible for that fuel. We've
5 got some in the 300 Area for research type purposes. We have
6 the FFTF, which is a liquid metal cooled fast reactor that
7 has recently been shut down. It has a large number of fuel
8 elements that we have to deal with. The 200 Area and the T
9 Plant, the burial grounds and then PUREX has a variety of
10 different fuel types, and you'll see those in the next
11 diagram. And then, of course, all the fuel has been removed
12 from all of the 100 Area reactors with the exception of the K
13 Basin. They've all been concentrated in the K Basin, and
14 that's where the fuel is, and you can see it's right on the
15 river. So you can appreciate I think the priorities that
16 we're placing on getting that fuel out of there.

17 This is what the inventory is, how we describe it.
18 We describe it in metric tons of uranium. The N Reactor,
19 which is the last operating production reactor here at the
20 site, almost 2100 metric tons of uranium. That represents
21 about 80 per cent of the complex's inventory of uranium, of
22 spent uranium. So we've got the majority of the problem as
23 far as atoms of uranium that the complex is dealing with.

24 The single-pass reactor, which were the other types
25 of reactors, very small, relatively small quantity. The

1 shipping port core was shipped to Hanford. That's stored in
2 the T Plant, about 16 metric tons. As I indicated, the FFTF,
3 the fast reactor, has about 11 metric tons, and then the
4 miscellaneous includes the burial grounds and what's in the
5 300 Area.

6 Okay, I'm going to go down each one of these and
7 show you a picture of what the fuel looks like, and then talk
8 about some of the specifics of the fuel.

9 This is a before shot, if you will, before it was
10 irradiated. The N Reactor fuel, which is of course the bulk
11 of the fuel at Hanford, about 26 inches long, about three
12 inches in diameter, and it's an element inside an element,
13 two cylinders slid together with each of those cylinders
14 containing fuel and cooling water passing on the outside and
15 up through the annulus of the tube in a tube. Each element
16 is about 52 pounds. It's predominantly all of that weight is
17 uranium. There is a thin zircaloy cladding on the outside,
18 but all of the weight is virtually 100 per cent uranium.

19 The enrichment of this fuel varies slightly, but
20 none of it is over about 2 per cent uranium-235 in total
21 uranium. Its purpose was to produce plutonium, not to do
22 anything else and, therefore, we wanted lots of uranium in
23 there, and you don't need to have a lot of uranium-235 to do
24 that.

25 Now what I'll show you is some of the other types

1 of fuels in their current condition, and then I'll come back
2 and revisit the N Reactor on what it looks like in its
3 current condition.

4 This is a single-pass reactor fuel. I'll turn it
5 over. These are buckets that were used in the processing of
6 the fuel through the PUREX and other type facilities.

7 There's a limited number of these elements sitting in K-East
8 Basin. This is an aluminum clad fuel. Again, virtually all
9 of the fuel is 100 per cent uranium. And what you see is
10 some debris, if you will, corrosion products, silt, those
11 sorts of things covering the fuel, and you can see why we're
12 concerned and why we want to do something with it. It needs
13 to have something done with it quickly.

14 Once the fuel came out of N Reactor, it was very
15 quickly, after it had a short decay period, was sent to the
16 PUREX plant for reprocessing. And what they did is virtually
17 take buckets of these elements that I showed earlier and put
18 them into dissolvers where then it was processed chemically.
19 Only we had some low percentage basketball shooters, and
20 some of them didn't make it into the dissolvers, and in fact
21 they were outside the dissolver laying on the floor of the
22 PUREX. And what you see is these are the fuel elements and
23 then this is nothing that relates to the fuel necessarily,
24 but the way the dissolvers were designed did not provide a
25 lot of splash protection of the acids and so forth, and

1 that's what concrete does when exposed to acids. But there's
2 that fuel sitting there. We need to go find it. We need to
3 find out what it is. We need to retrieve it and we need to
4 take care of it, as we will with the other fuel.

5 This is the before shot, if you will, a cartoon of
6 what the FFTF, the fast flux test facility fuel looks like,
7 very clean, relatively new compared to the other fuel. FFTF
8 went critical in about the 1980, '81 time frame. There's no
9 fuel older than that at FFTF. This is a stainless steel clad
10 217 pins stainless steel ducts and clads. That's mixed oxide
11 fuel, uranium and plutonium oxide. You needed that fuel in
12 order for the fast reactor to operate. 76 of these
13 assemblies constituted the core in FFTF, and there are
14 probably three or four cores worth of that at FFTF in the
15 core, and then in the storage basin adjacent to the core.

16 We also have fuel in the 200 Area burial grounds.
17 This is an aerial shot of how the fuel was containerized and
18 then entrenched in the 200 Area. These are what's called EBR
19 2 storage casks. They're cylindrical, maybe three feet high
20 storage canisters, if you will. When we were doing a lot of
21 the FFTF development, fuels development program, fuel
22 elements were irradiated in EBR 2 in Idaho. They were
23 shipped over here to Hanford and we did a lot of the
24 destructive examination of those fuels. The result of those
25 destructive exams, sample sizes, sections of elements,

1 sections of cladding, sections of fuel, et cetera, as they
2 came out of the hot cells were then put into these canisters,
3 put on an asphalt pad in the 200 Area and then covered over.
4 So most likely we will have to go get that fuel, retrieve it
5 and then somehow remediate it.

6 This picture looks a lot worse than it really is.
7 This is taken from a video camera from one of the hot cells
8 that PNL operates. These are buckets of light water reactor
9 fuel, very much like the normal light water reactors around
10 the country. H. B. Robinson provided some of this fuel, and
11 these are just--the large handles you see here are just for
12 the buckets. But there are a number of elements or
13 assemblies stored in the hot cells in air. Those aren't a
14 big problem for us. We just need to recognize they're there
15 and deal with them appropriately.

16 The last fuel type is Triga fuel. There was a
17 small Triga in one of the fuel fabrication facilities at
18 Hanford in the 300 Area. It was used for radiography. Those
19 elements are still here at Hanford and we're responsible for
20 those as well.

21 Well, going back to the N Reactor fuel, how do we
22 get into the situation that we're in? This is a diagram that
23 shows the number of fuel elements, if you will, and date
24 starting in 1970 and operating--showing the operations of the
25 N Reactor and the PUREX. And the dark is when the N Reactor

1 was in operation; the dark down here is when the PUREX was in
2 operation. And so what you see is that in about the 1972
3 time frame, the PUREX, the processing facility at Hanford,
4 was shut down.

5 Well, the N Reactor continued to operate. It's
6 generating fuel, it's generating the spent fuel, and
7 something had to be done with that. So what I have plotted
8 here is the inventory in the 105-K East Basin and the 105-K
9 West Basin, and then just a total. And you can see as a
10 result of the shut down of the PUREX in 1973 or '72, the
11 inventory in the basins started to rise.

12 Then there was a short period of time in 1983 where
13 the PUREX was started again. We could then remove fuel from
14 the basins and process it, and that's why the inventories
15 have gone down in that period of time.

16 Then finally the PUREX was shut down in 1989 and
17 that's why the fuel is where it's at today at these levels,
18 2100 metric tons.

19 This is an aerial view of the 100 Area,
20 specifically the K Area. Here is the Columbia River. Here
21 are the two reactors, K-West, K-East. These are the ponds
22 that are currently being used to raise young salmon or fish,
23 and then when they get to a certain age, they're introduced
24 to the river. This is area that is all clean, non-
25 radioactive, has no problem in being used in that capacity.

1 The radioactive issues are associated with the
2 reactor sites, and attached to the back of the reactors then
3 are the basins. That's where the N Reactor fuel is stored.
4 There is a basin both on the east reactor and also on the
5 back of the K-West Reactor.

6 This is looking at the inside of the basin. It's a
7 floor suspended from the ceiling. There's approximately four
8 or five feet of clearance between the floor and then the pool
9 of water. So this is how we do work in the basin. We're
10 able to work on the floor, use the cranes and the overheads
11 through these grooves, manipulate the fuel, move it around as
12 we need to.

13 Here's a cartoon of what that looks like. Again,
14 here's the floor that you just saw, the cranes that we use.
15 The canisters are sitting on the floor of the basin. This
16 water height is approximately 25 to 30 feet, provides us the
17 shielding that we need.

18 Again, the facilities are old, and so this is not a
19 facility that has a containment around it. It's not a
20 facility that even has confinement. In fact, if you look--
21 and you'll see this on some of the tours if you go to K-West-
22 -that the roof has vents in it and you'll also notice if you
23 were here yesterday that we have a lot of winds, and so we
24 get dust and debris inside the basins that lands on the
25 water, filters down and resides on the fuel.

1 This is the two basin, two history diagram. This
2 is what the K-West basin looks like, its fuel. You're
3 looking down through about 30 feet of water to the tops of
4 canisters that half of the N Reactor fuel was encapsulated
5 and put in those canisters. The decision was made not to do
6 that in K-East and you can see the difference. What you have
7 are buckets, some are steel, some are aluminum, and inside
8 you're looking at the end of one of those tube in a tube N
9 Reactor fuel elements. You see evidence of lots of
10 corrosion. You see evidence of fuel that has broken apart,
11 et cetera. This is what we need to do, and in an ideal
12 sense, what we would like to do is take this and make it look
13 like this. This water is clean, the basin floor is clean, it
14 doesn't have any of these types of issues associated with it.
15 And this just provides the history of each of those basins.

16 And what basically happened is we removed all of
17 the water and fuel out of West, went in and put epoxy on the
18 walls, cleaned and decontaminated and filled them back up,
19 and only introduced encapsulated fuel into that basin and, in
20 essence, isolated it from the source term.

21 TPA milestones that are driving us. I'm not going
22 to read through all of these. I will point out a couple of
23 them, however. Some of the important ones are in the June
24 time frame, now. We are to begin K-East Basin fuel
25 encapsulation. That strategy is being re-evaluated. There

1 are other--the bottom line one here, though, is to remove the
2 fuel and the sludge, and we're interpreting that to mean also
3 the tritiated water from the basins no later than December of
4 2002.

5 Again, going back to what the DNFSB have said,
6 we're planning on accelerating that significantly to do what
7 we can to beat that date.

8 Okay, I provided also some additional technical
9 material. If you would take a section of that and go around,
10 what I'd like to talk about is what our strategy then is for
11 trying to solve this problem.

12 This is our logic, if you will, and what I've done
13 is looked at both the N Reactor and single-pass reactor fuel
14 as one entity, and then I'll talk a little bit about the
15 other Hanford fuels.

16 Of course, in the near-term, as I indicated, our
17 encapsulation strategy is being re-evaluated. So there will
18 be some continued storage in the K-East and K-West Basins for
19 the next year or so.

20 Our baseline strategy then is to process that fuel
21 in some fashion that would allow us to get it out of the
22 basins and get it into some sort of interim storage condition
23 that will provide us isolation of the source term from the
24 environment until we can get a storage complex built that can
25 receive this fuel.

1 The strategy is not very different for the other
2 Hanford fuels. There will be near-term storage in the
3 conditions that they're in right now for the next year or so.
4 If there's any processing that would be required, that would
5 be done. Ultimately, that then would go to the storage
6 complex that's planned for the 200 Area.

7 And, finally, there are other nuclear materials
8 that are not fuels, strontium, cesium capsules, et cetera,
9 that most likely will have--the storage complex will be able
10 to accommodate those. And so what we're thinking is that if
11 it makes sense, this is not a decision that's been made yet,
12 if it makes sense, what we'll do is take those materials and
13 put them in that storage complex.

14 This is where we'll do the 40 to 50 year storage,
15 and then once criteria have been established for how the fuel
16 will ultimately be dispositioned, we'll then push that into
17 that disposition block.

18 Taking this a little bit more in depth, here is the
19 baseline, the fuels that we have with the existing
20 facilities. We will go through a general evaluation, these
21 are ongoing now, of what it is we need to do to adequately
22 store this. Do we have to process it, the stabilization,
23 passivation, whatever. Transportation is an issue. And what
24 weaknesses or vulnerabilities might there be in our infra-
25 structure that will allow us to either transport the fuel,

1 process the fuel, store the fuel. Those all need to be
2 evaluated.

3 From that, will come out a general strategy for the
4 N Reactor fuel, and what will be required for us to complete
5 that technical evaluation will be what's called a fuel
6 characterization program. What does the fuel look like, what
7 is its chemical composition, what is its physical condition,
8 those sorts of things. With that data, the result of the
9 technical evaluations and an options study, we will then make
10 a decision on how to implement the removal of the fuel, the
11 storage of the fuel, and implement the project.

12 Of course, influencing this is the integrated EIS
13 from a national perspective, the foreign research reactor
14 spent nuclear fuel EIS, and then ultimately the Hanford spent
15 nuclear fuel EIS. All of those will influence then the
16 decision and our implementation strategy.

17 Some of the general concepts that we're
18 considering, this is not a complete list by any means, is to
19 separate the fuel from its neighbors, from other canisters or
20 whatever, and store it, looking again at some integrated
21 complex for storage on the site that would accommodate both
22 the N Reactor and other types of fuels. That's this one
23 here. Storage options; dry cask or caisson, wet, dry. At
24 this point, we're not eliminating any option; evaluating what
25 other sites are doing, Idaho, Savannah River, looking at

1 what's been done in the past and trying to put a laundry list
2 of options together, go through a disciplined systems
3 engineering evaluation of those options and ultimately come
4 up with a recommendation.

5 Some of the stabilization options are just simply
6 drying the fuel, whether that means evacuating it in a vacuum
7 and allow the moisture to vaporize off the surfaces and
8 within the fuel, or whether to go through a massive process,
9 chemical process where we actually take it from its metal
10 form now into the more stable oxide that you're probably a
11 little more familiar with on the commercial side, or does it
12 make more sense to separate out some of the bad actors from
13 that fuel. All done, in order to provide a better position
14 to store this fuel, not for any separations of nuclear
15 material purposes.

16 Revisiting it, this is what's driving us right now
17 is to get that fuel off the river and do it as quickly as
18 possible. And we're hearing it over and over again. We're
19 starting to believe it and we're starting to act that way.

20 How do we get there from here? This is just
21 another way of saying that is take the West fuel, which you
22 recall was on the right-hand side of your picture, a very
23 nice encapsulated, not do very much with it other than to
24 look at it to make sure that if we put the K-East fuel into
25 that same condition, that we're not worsening the situation.

1 So we'll characterize that, but primarily we're not planning
2 on doing much with it other than to store it in the basin
3 until we can transport and get it off to our storage
4 facility.

5 The K-East Basin, we're going to have to contain
6 the fuel. Remember, that was on the left-hand side of the
7 picture, contain that fuel, do something with the sludge that
8 lays on the bottom of the basin, and if we follow our
9 baseline, we'll do very much to this fuel what we did to that
10 fuel a number of years ago, store that and then drop down
11 into this box, which is transport and put it into some sort
12 of stabilization or processing, transport that out to our new
13 storage complex. That's where other fuels will come in. And
14 then there's our final disposition option 30 to 50 years from
15 now.

16 Again, that's easy. You lay all this out in time,
17 and it gets a little complicated. Across the top are the
18 dates. Here are some of the major elements that we have to
19 concern ourselves with, remediate the situation in the basins
20 immediately. What are we going to do with that fuel once we
21 get it out of the basins, and then where are we going to
22 store it? So here's the contained fuel and contained sludge
23 that I showed on the previous diagram, and then store it.

24 At this point, 2002 if you recall, that was the TPA
25 milestone that we're obligated to get the fuel off the river,

1 out of the basins, if you will.

2 Well, fuel stabilization, there's not a lot of this
3 stuff around the complex, it's somewhat unique and we've got
4 to develop the process on how we handle that fuel and what we
5 do with it when we get it out of the basins, whether that's
6 to oxidize it, passify it, the other things I mentioned.

7 That needs to be developed and that can be done locally, it
8 can be done by vendors, it can be done overseas, whatever.

9 We need to identify and then develop that process.

10 Once that's done, then there's a design and
11 construction phase that would be necessary for whatever
12 decision is made. The fuel comes in and then we start the
13 process. The problem is you see that that's not going to be
14 available to even begin processing until about 2003. That's
15 beyond the TPA milestone. Now, I have two options. I can
16 either try and fix this, either accelerate it or go to an
17 alternative, or I renegotiate the 2002. I'm not interested
18 in doing the latter. I am interested, though, in maybe
19 looking at some alternatives to this baseline strategy.

20 The fuel storage situation is not as much a
21 constraint because we can develop the design and construction
22 of that facility in time to be able to allow us to start
23 storing that fuel once we begin to process it.

24 Unfortunately, the regulatory criterias aren't well defined
25 right now. Is this going to be NRC licensed? Is it not? Is

1 it going to be controlled by DOE? Is it not? So that's why,
2 if you recall my wiring diagram, I had this regulatory
3 compliance in public involvement box. That's an issue that
4 that group is dealing with.

5 So what are the potential alternatives to this
6 baseline, is to develop some way to expedite the removal of
7 that fuel. And also we have had a number of overseas
8 entities come to us and say, well, here's what we're doing
9 over here, and I think you ought to consider that. And so
10 we're looking at that. There are a lot of regulatory,
11 political policy issues associated with that, of course, and
12 that's what we're evaluating, as well as the technical side
13 of doing something like that.

14 Let me expand a little bit, though, on this
15 expedited fuel removal, if I could. This is, in bulleted
16 form, the strategy is to look at what existing facilities do
17 we have on the site that might be able to accommodate storage
18 of this fuel, either wet or dry, and see if there isn't--I
19 mean, one strategy would be to take the fuel out and go store
20 it someplace in a PUREX or a T Plant or someplace that's
21 large enough and has the facility existing. And then I would
22 have to move it again once I decided how to process it, or
23 whether I was going to oxidize it or process it or whatever.

24 Ideally, what you'd like to do is move it to
25 someplace where that same facility could accommodate that

1 processing. So one of the things that we're looking at is
2 the fuels materials examination facility in the 400 Area.
3 It's a large hot cell facility built to current standards,
4 meets all the seismic criteria, et cetera, and is currently
5 not being used. So that's something that we're looking at.
6 Can we store the fuel there and yet have this existing
7 facility that will allow us to develop the process, install
8 and test the process and actually process the fuel without
9 having to move this fuel yet another time.

10 What that allows us to do then is to get the fuel
11 and the sludge out earlier. We would encapsulate it and then
12 get it out of that basin before the 2002. It doesn't limit
13 us to what ultimate stabilization or storage option that we
14 take, because we're not doing anything different to the fuel.
15 We're just encapsulating it the way it is in the same
16 environment it is today, moving it off the river and putting
17 it in a temporary storage condition while we then go and
18 develop the process that would be necessary to put this fuel
19 in a better condition to store it for the 50 year time frame.

20 What it does is it takes the stabilization, the
21 storage options off the critical path and does not force us
22 to be in that basin any longer than we need to be. It also
23 then, from a budgetary perspective, we're not obligated to go
24 out immediately and start building a storage facility or a
25 processing facility that we don't know what the guts of are

1 yet because we haven't had the time to develop the process.

2 This is what it looks like diagrammatically. This
3 is virtually all the same, and this is the Phase I facility,
4 either construct a storage facility or use an existing
5 alternate facility. Here's the fuels and materials
6 examination facility, the WPPSS #4 spray ponds or something
7 we're looking at. We're not limiting ourselves to the things
8 that we're considering for alternative storage sites off the
9 river out of the K-Basin. We think we can get it up and
10 operating by 1997, get it off the river five years earlier
11 than the TPA milestone.

12 How do we do that? It requires that the NEPA
13 review be concurrent with the facility design. It's not
14 business as usual. Issue a notice of intent on our interim
15 action. We have to secure the capital funding that might be
16 necessary. We've got a fix on what the regulatory criteria
17 are, and then ultimately begin to develop the acceptable
18 retrieval and storage methodology for how we get the fuel
19 out, get it transported to this new place.

20 This is the foreign alternatives diagram, if you
21 will. It, in essence, requires we build no new facilities,
22 or very few new facilities, has potentially lower life cycle
23 cost because the fuel will be removed from the site, shipped
24 overseas, processed over there, the waste returned to the
25 United States.

1 The issues, of course, are public involvement--
2 that's not a very favorable scenario in some circles. The
3 shipping issue is certainly not anything that is not without
4 challenge. Institutional barriers, we currently have a
5 policy against reprocessing fuel in the United States. It
6 could be perceived by taking this off to England or France or
7 wherever where they might process it, as a violation of that
8 policy, and it would then also provide us, with these issues,
9 force us to challenge that 2002 date.

10 What I'd like to do then is to conclude with where
11 we're going and then what do we need to get there. This is
12 kind of our internal milestones, if you will. We're sitting
13 here in the middle of June. We have a number of--well, let
14 me back up. These are safety questions associated with the
15 facility. There are at least potentially two of those that
16 we're dealing with, looking at solving--going through some
17 analyses and determining whether in fact the facilities can
18 accommodate a seismic event. These three, if you will then,
19 are dealing with the basins as they exist today, because
20 under any scenario, the fuel will be there for probably
21 another two to five years.

22 We want to understand as quickly as possible what
23 the fuel looks like. We had a program laid out for that with
24 the new direction. We've accelerated that characterization
25 program, doing the chemical analyses, the physical analyses,

1 et cetera. As the project, we're going to be going through
2 systems analysis and planning to ensure that all of this
3 makes sense relative to where we need to go. And at the same
4 time, we're plugging into in a very aggressive way in the
5 national program that's being run out of EM-30.

6 We're not doing too badly so far. We've got a long
7 way to go. The red dots that you see on here are where we're
8 going to require some action by DOE headquarters to make that
9 happen on time. Here's what those are. We need to reprogram
10 some capital funding because we're a new project, we've just
11 begun to start resolving these, and budgets are not in sync
12 yet, so we need to reprogram some capital funds to get us to
13 the point where we can get this interim facility constructed.

14 We've got some upgrades that are required to the K-
15 Basins as they exist today. We've got to reprioritize in
16 both '94 and '95 some expense funding. We're going to need
17 help in not--or in streamlining the reviews that take place
18 on NEPA and other sorts of things. We have to get some
19 definition between these entities about our facilities and
20 our future facilities, whether the NRC will license it,
21 whether the DOE will control it, you know, how EPA is
22 involved, et cetera.

23 In all of this, however, we are, to the maximum
24 extent we can, involving the public in the decisions that we
25 make. And we've had a number of public information meetings

1 that both DOE has led and the project has led on the east
2 side of the state, on this side of the state and in Portland.

3 DR. VERINK: Any questions? Yes. Would you give you
4 name first, please?

5 MR. CANTER: Howard Canter. When you say to get the
6 fuel off the river, how far? I mean, what order of magnitude
7 are you talking about?

8 MR. ETHRIDGE: The K-Basins as they reside now are
9 within about 200 yards of the river. Our strategy is to get
10 them to the 200 Area plateau, which help me here, is a couple
11 miles, five miles from the river.

12 DR. DI BELLA: Carl DiBella; Staff. It appears to me, I
13 might have missed something, as if in your planning, you're
14 not taking into account at all the ultimate deep geologic
15 disposal of the material and, therefore, it is possible that
16 you come up with a solution for your 30 to 50 years that has
17 to be completely redone. Am I missing something?

18 MR. ETHRIDGE: No, although we can't wait for that. We
19 can't wait for those criteria to be developed for our fuel
20 types and still meet our TPA milestone. So our strategy is
21 to proceed with where we can now--

22 DR. DI BELLA: I mean, you're not even guessing at what
23 the criteria may be. You're just ignoring it?

24 MR. ETHRIDGE: Yes.

25 DR. DI BELLA: Okay. That's the way I read it, yeah.

1 DR. REITER: Leon Reiter from the Tech Review Board
2 Staff. I wonder if you've done a risk analysis on this, and
3 what are the means by which the radionuclides are getting to
4 the river? I saw seismic mentioned a few times.

5 MR. ETHRIDGE: We do have wells situated around the
6 facilities that are showing higher than normal concentrations
7 of tritium. There is tritium in the water in the basin.
8 There's no risk analysis required. Tritium is getting into
9 the sand, into the environment.

10 Now, it turns out that the site has been--has had a
11 lot of activities occur on the--so the data is not conclusive
12 that the tritium that we're seeing in the wells is coming
13 from our water in the basin, but we do know the basin has
14 leaked, okay, significantly. So it's likely that at least a
15 part of that tritium, the source is the water in the basin
16 now.

17 DR. REITER: So the main source then is just the ongoing
18 leak rather than a disruptive scenario that might occur?

19 MR. ETHRIDGE: Right.

20 DR. REITER: Because you--so you're not too much worried
21 about the seismic scenario?

22 MR. ETHRIDGE: Yeah, the reason the seismic is an issue
23 is because of the way the facility is constructed, a seismic
24 event is predicted to open up leak paths from the basin to
25 the environment. At this point, the basins are not leaking.

1 Okay?

2 DR. REITER: Okay. So where is the--where are you
3 noticing tritium coming out?

4 MR. ETHRIDGE: The tritium is in the ground water that
5 are under the basins that is there normally.

6 DR. REITER: So something is coming out. I'm not quite-
7 -perhaps you could just clarify it.

8 MR. ETHRIDGE: There are potentially two sources of
9 tritium in the ground water that's making its way to the
10 river. One are the past practices on the site, whatever
11 those may have been, is one. The other is the basins
12 themselves. The basins have leaked in the past. There is
13 tritium there. It takes "X" number of years for that water
14 to get from the basins to the river, and so any past leaks
15 are most likely a source of tritium in the ground water.

16 DR. DI BELLA: Carl DiBella again. What's the burnup of
17 this material?

18 MR. ETHRIDGE: I don't know that number in annum
19 percent, but it's very low. I mean, it was in the reactor to
20 maximize the production of plutonium, and then it was taken
21 out, so it's very low, less than 10 percent for sure.

22 DR. DI BELLA: What happens to the uranium after
23 reprocessing? Where does it go?

24 MR. ETHRIDGE: After reprocessing?

25 DR. DI BELLA: Yeah. The spent fuel hasn't been

1 reprocessed.

2 MR. ETHRIDGE: Right.

3 DR. DI BELLA: The fuel that has been reprocessed
4 results in three streams, a plutonium stream, a uranium
5 stream and a waste stream.

6 MR. ETHRIDGE: Yeah.

7 DR. DI BELLA: Where does the uranium go?

8 MR. ETHRIDGE: I don't know. I don't know if that went
9 back into the complex's inventory or where that went. That
10 was part of the PUREX process.

11 MR. HOLGADO: Just a couple of comments, Jerry. Oscar
12 Holgado with DOE. If the encapsulation does not happen, are
13 we going to miss the milestone in June of this year?

14 MR. ETHRIDGE: I'm sorry?

15 MR. HOLGADO: The encapsulation is one of the
16 milestones, it's not going to happen in June?

17 MR. ETHRIDGE: That's right.

18 MR. HOLGADO: Okay.

19 MR. ETHRIDGE: That is not an enforceable milestone, by
20 the way.

21 MR. HOLGADO: Well, I'm just saying because you showed
22 it in the milestone chart.

23 Another thing is the fuel is submerged is 16 feet,
24 not 25 feet of water.

25 MR. ETHRIDGE: Okay. Sorry.

1 DR. LANGMUIR: Langmuir; Board. Jerry, you mentioned
2 that one of the goals of your program is that there be no
3 discharge into the Columbia River. When you say that, do you
4 mean no discharge that you can measure coming out of the
5 facility itself now or--obviously it's coming out of the
6 sediments that contaminate the areas around it.

7 MR. ETHRIDGE: Out of the facility now.

8 DR. LANGMUIR: You can't control that.

9 MR. ETHRIDGE: Right. It's doing what we can to
10 eliminate additional discharges from the facility.

11 DR. LANGMUIR: Now, you have, therefore, monitoring
12 equipment?

13 MR. ETHRIDGE: Yes.

14 DR. LANGMUIR: To identify it and distinguish it somehow
15 from existing material?

16 MR. ETHRIDGE: No, where we would be able to confirm
17 that we had it from a water perspective is there are level
18 measurements in the pool. So the water level is not
19 changing, we can conclude then that we're not leaking water
20 out. And that takes into account all the evaporation and the
21 models and so forth take those into account. Now, there's a
22 certain degree of uncertainty with that, of course. But that
23 would be our baseline piece of data we would throw on the
24 table if somebody asked are you leaking today, are you
25 discharging into the environment today, our data says the

1 pool is not leaking today.

2 DR. LANGMUIR: Okay. But what if it does? Have you got
3 other wells positioned between the river and your plant to
4 identify and follow--

5 MR. ETHRIDGE: Yes, but there is quite a delay time
6 between the pool and the river and the wells. So we would
7 not see that until months later.

8 DR. LANGMUIR: What's the ground water level under the
9 plant?

10 MR. ETHRIDGE: I don't know that.

11 DR. LANGMUIR: It would be at the river level. So
12 what's the elevation difference?

13 MR. ETHRIDGE: I would say less than 200 feet.

14 DR. LANGMUIR: The plant is that much higher than the
15 river elevation?

16 MR. ETHRIDGE: Yeah.

17 MR. CAMPBELL: My name is Milt Campbell. And in
18 response to where does the uranium go, you asked the
19 question, it was in Don Wodrich's handout this morning, the
20 uranium from the fuel reprocessing was recovered, converted
21 to the oxide and returned to Fernald to be re-enriched and
22 made again into metal to go into the reactor.

23 DR. DI BELLA: Thank you. My next question is how many
24 cycles can that be continued? Can that be cycled unlimited
25 times?

1 MR. CAMPBELL; No. There's too much uranium-236 in it.

2 DR. DI BELLA: Okay, where is that uranium.

3 MR. CAMPBELL: The storage of that I think was in
4 Fernald.

5 DR. DI BELLA: Will that go to a repository?

6 MR. CAMPBELL: Where it goes, I don't think it's called
7 high-level waste, so it would not go to a repository. It
8 would be a low-level waste.

9 DR. DI BELLA: A TRU waste.

10 MR. CAMPBELL: No. It's uranium. Uranium is not a TRU
11 waste.

12 MR. MC LEOD: I'm Barrie McLeod with the M&O. The
13 uranium goes to Fernald and then goes back into the diffusion
14 plants. So U-236 gets diluted by all of the natural uranium
15 going in there. So it does get substantially diluted. So
16 you can probably do quite a bit more recycling than has been
17 done, however, that's been stopped because reprocessing
18 stopped.

19 By the way, let me add while I'm here, the burnup
20 of the N Reactor fuel I understand is the order of 1000
21 megawatts per ton.

22 MR. CANTER: Howard Canter. In the prior history, we
23 needed uranium-236 because we were producing Neptunium-237,
24 which was used in targets to make plutonium-238. So some of
25 that was diverted in a prior life down to the targets for

1 Savannah River, but all of that's shut down now, so there's
2 no place to send any of it.

3 DR. BARNARD: Bill Barnard; Board Staff. Do any foreign
4 countries have fuel similar to this, and what do they do with
5 this?

6 MR. ETHRIDGE: They reprocess it.

7 DR. BARNARD: Do they have similar problems with long-
8 term storage?

9 MR. ETHRIDGE: I found out this morning, to my surprise,
10 that in fact the CANDU reactors have had some starter
11 assemblies that were metal, and they have not resolved what
12 they're doing with those yet, quite frankly. The Britts on
13 the other hand, it's my understanding that their Magnox fuel
14 is a metal, and they have had innumerable problems and have
15 come to us and said here's our problems, here's what we think
16 you ought to do and what you shouldn't do. Okay? So I would
17 say the bulk of the experience lies with the Britts and
18 virtually none with the Canadians.

19 DR. BARNARD: But they don't have a simple solution, I
20 gather.

21 MR. ETHRIDGE: They reprocess it.

22 DR. BARNARD: That's the only solution?

23 MR. ETHRIDGE: Yeah; right.

24 DR. VERINK: Any other questions? Any questions from
25 the audience? Thank you.

1 MR. ETHRIDGE: Thank you.

2 DR. VERINK: Now, let's see, you have an announcement?

3 MR. LA MONT: I'm Phil LaMont. I'm with DOE RL, and I
4 just wanted to take a minute to run down the arrangements for
5 the tour tomorrow. A tour has been arranged at the request
6 of the Nuclear Waste Technical Review Board. Board members
7 and other persons who have been identified for the tour are
8 listed at the reception table on the back in case there's any
9 question about that.

10 The facilities that are going to be toured include
11 the 327 building, that's a radiochemical lab in the 300 Area
12 in which spent fuel, commercial nuclear fuel oxidation
13 experiments are being done, the fast flux test facility
14 reactor, the waste encapsulation and storage facility and the
15 K-West fuel storage basin. The tour will be divided into two
16 groups of approximately twelve people apiece. Each group
17 will leave the Tower Inn by bus in the morning and be
18 returned to the Tower Inn in the afternoon. Group A leaves
19 at 7:15 a.m. and returns at in the neighborhood of 3 o'clock
20 in the afternoon. Group B leaves at 7:45 a.m. and returns at
21 3:40 in the afternoon.

22 Each group will be accompanied by an escort. I
23 want to take this opportunity to identify them. Dave
24 Langstaff with DOE RL, if you could stand up, will be
25 escorting Group A. And Milt Campbell from MACTEC Corporation

1 will be escorting Group B. There is a blue information
2 packet like this in the back. It contains an itinerary, a
3 list of attendees and some general information about Hanford,
4 including maps so you can keep yourself oriented.

5 Lunches will be provided. They're scheduled in the
6 itinerary. I don't know the exact cost. I think they're
7 like \$5.00 or \$6.00 apiece. It's a nominal cost. And
8 they'll be delivered to the lunch rooms for each group as
9 scheduled on the itinerary. Let's see, I guess about all I
10 can say is casual clothes are appropriate, but these areas I
11 think are fairly clean that you'll be going into and so I
12 don't think you'd need to worry about losing any shoes or
13 suits or anything like that. So if you don't have casual
14 clothes, I think you can still go.

15 Are there any questions?

16 MR. PRICE: What were the departure times again?

17 MR. LA MONT: Yeah, pick up one of these blue packets in
18 the back. For those of you who are going on the tour, the
19 departure time for Group A is 7:15 from the lobby here, and
20 the departure time for Group B is 7:45. The reason we do
21 that is because the first stop is the security facility in
22 the 300 Area where you'll pick up your badges, and it's
23 easier to process people on a staggered basis, so there won't
24 be as much standing around and waiting.

25 Thank you.

1 DR. VERINK: Unless there's some other business, we
2 might go ahead and take our break now and reconvene, I guess
3 we're three minutes off from it anyhow, so let's get back at
4 2:30.

5 (Whereupon, a recess was taken.)

6 DR. VERINK: Our next speaker is Dr. Howard Canter.

7 DR. CANTER: I'll skip through some of this rather
8 rapidly because there's a few things that I want to mention
9 that aren't on these charts and I think you'll find
10 interesting.

11 Eventually, I'm going to get to the point where I'm
12 going to concentrate with a few view graphs on what extent
13 the disposition of surplus fissile materials, what impact
14 that might have on the repository program. But that's later
15 on.

16 This little history, most people know this, you
17 know, some rather strange events happened in the last four or
18 five years, starting with the Berlin Wall falling and the
19 plutonium reactors shutdown at Hanford and Savannah River.
20 They didn't shut down because the wall fell, but these events
21 started cascading. In September, 1991, President Bush
22 announced a unilateral arms reduction on the part of the
23 United States, which effectively cut in half the future
24 stockpile of nuclear weapons.

25 Nunn-Lugar is important because it has to do with

1 what we're doing with the Russian Federation. Nunn-Lugar is
2 a term that refers to some money that has been authorized,
3 it's \$400 million a year, by the Congress, and it's put in
4 the hands of the Department of Defense to help the Russians
5 disarm. So it has to be tied to that. The money's
6 predominantly spent in the United States for equipment, for
7 technical assistance and things like that. They've
8 authorized 400 million in fiscal '92, 400 million in '93, 400
9 million in '94, and the mark that I saw on the appropriations
10 bill for '95 has another 400 million.

11 Not a lot of it has been spent because it's been
12 very hard to get agreement from the Russians on what to do.
13 They have as big a bureaucracy as we have. But this is very
14 important because it has to do with the non-proliferation.

15 In the State of the Union message in January, 1992,
16 President Bush announced that he had terminated all warhead
17 production. We still had warheads to produce for the Navy,
18 the W-88's for the Tridents, and that was truncated in
19 midstream and it was never resumed.

20 Nuclear Testing Moratorium began in 1992. START I
21 was ratified. There was, in early '93, there was a
22 Clinton/Yeltsin summit. There was a Gore/Chernomyrdin--
23 Chernomyrdin is Prime Minister of Russia--and agreement, had
24 some agreements to do with this.

25 In '92, there was a Bush/Yeltsin agreement which

1 eventually was codified at START II and is now in the hands
2 of the Congress for ratification. The Bush/Yeltsin agreement
3 made a further cut in the forecasted stockpile by about 50
4 per cent. So there were two 50 per cent cuts which meant
5 that the forecasted stockpile was down to 25 per cent or less
6 than we had when all this started around 1991. Now, that's a
7 lot fewer bombs, which means there's a lot more materials
8 left over, and that's really the story on that.

9 Last September, President Clinton issued a policy
10 directive and it was--it had to do with non-proliferation,
11 and that's the concern, because with all this excess
12 material, the question is will some of it fall in the wrong
13 hands. Our main concern, in the words of the National
14 Academy of Science, is a clear and present danger of this.
15 Everybody has read in the newspapers how concerned we are
16 over North Korea, and North Koreans may have separated out
17 enough material for a couple of bombs. How would you like
18 enough material for 15 or 20,000, and that's what's going on
19 in Russia. So that is a danger and we're working very hard
20 to do something with the Russians.

21 So the President issued this directive, and it's a
22 comprehensive approach, goes everywhere from export controls
23 to setting up all of our surplus material unilaterally and
24 voluntarily under IAEA inspection on the basis that if we can
25 do it, we can then get the Russians to do it. We're not

1 really worried about ours being stolen. We have pretty good
2 security on it. What we're worried about is the material in
3 Russia. And I explained to somebody before that the old
4 Soviet Union had some very interesting features. It was a
5 devil that you understood. It was very predictable. And
6 they had a terrible material control and accounting system,
7 almost non-existent, but boy they had good security. You
8 move a little material from one room to another, you got a
9 bullet between your eyes. The security is all gone.

10 Somebody told me they visited a commercial nuclear power
11 plant out there in Russia and the guard went home at 4
12 o'clock. That's when she went home, and there wasn't any
13 guard all night and the government facilities, the non-
14 commercial facilities, aren't much better. The weapons ones
15 are still pretty good, but some of the research institutions
16 and stuff like that are terrible.

17 The President tasked an Interagency Working Group
18 to initiate a comprehensive review of long-term options for
19 plutonium disposition. And this interagency working group
20 has been set up. DOE has really the responsibility for the
21 technical side of that because that's our mission. This
22 joint Russian/U. S. Summit Statement that came out of the
23 Clinton/Yeltsin, they're going to work towards an
24 international verifiable ban on the production of fissile
25 materials.

1 Right now, the Russians are still producing weapons
2 usable fissile materials, and there's some reasons for that.
3 They happen to have three reactors that produce plutonium,
4 but they're dual purposes reactors. They also produce
5 electricity and process steam for heat. They use district
6 heating in places like Tomsk. It's pretty cold there. They
7 need the heat, they need the electricity. We've asked why
8 don't you stop reprocessing the spent fuel. They can't
9 because their fuel, they have about six months storage for
10 spent fuel. The fuel has a very thin aluminum shell. It
11 won't hold up. I think if you think the pictures you saw
12 today were bad, probably that stuff is worse if you left it
13 in water for a long time. So they're continuing.

14 We are working with the Russians, the Department
15 is, to try to get them an alternate source of power and heat,
16 and they've agreed as soon as they have that, they'll shut
17 those reactors down and stop the reprocessing.

18 There's some other agreements. One of the things
19 that was agreed to is to set up a joint working group to try
20 to set up some IAEA safeguards on fissionable material, and
21 they task their relative experts to do this joint study on
22 long-term disposition of particularly plutonium.

23 In recent months, there have been three major
24 studies; the Office of Technology Assessment, which is an arm
25 of Congress, took a look at this issue, particularly the

1 plutonium, the Rand Corporation, and the National Academy of
2 Science. They differ somewhat, and there are some
3 differences here. The OTA looked more at the institutional
4 issues in the United States Government than the other two.
5 The Rand strictly looked at plutonium.

6 One thing that's very interesting is this line.
7 OTA said we should jointly study disposition options for
8 plutonium with the Russians. The National Academy of Science
9 said it's a clear and present danger. The U. S. should take
10 action on its plutonium to set the model for the world. And
11 Rand says we ought to go buy the Russian plutonium. Rand may
12 be right, except I don't know where we're going to put it.
13 But that's a problem we could worry about if we could
14 actually buy it from them.

15 And then there's some other differences here.
16 There is another thing that's of great interest, because a
17 lot of people are interested in nuclear power. OTA didn't
18 address this. Rand said plutonium basically doesn't have any
19 value in the United States. The National Academy said it
20 really has negative economic value. And that's really based
21 on the fact that using mixed oxide fuel, once through without
22 reprocessing, is more expensive than using uranium fuel.
23 It's that simple. It's more expensive to fabricate the fuel.

24 The Secretary, in response to this problem, set up
25 a group of people, of which I'm one, and Bill Danker sitting

1 over here is another member, and this is the charge that we
2 got. It created a project, the project reports to the under-
3 secretary. We're going to direct setting up methods of safe,
4 secure, inspectable storage. We've commissioned a
5 vulnerability study that we're paying for that's similar to
6 the spent fuel vulnerability study that was issued last year.
7 Maybe some of you have seen it. Some of the pictures of the
8 spent fuel that we saw just a little while ago are in color
9 in that vulnerability study and it's rather interesting to
10 look at it.

11 What we're talking on with that, first is to look
12 at plutonium, and to look at plutonium in every place it's
13 stored. There is plutonium stored at Hanford, Idaho,
14 Lawrence Livermore Laboratory, Los Alamos Laboratory,
15 Savannah River, Rocky Flats, there's even a little bit at Oak
16 Ridge, and it's in various forms. It's in oxide, it's in
17 metal, it's in pits which came from weapons. That's a
18 component of a weapon. It's in scrap, it's in residues.
19 There are some liquids. Some of it's unstable, some of it's
20 very stable.

21 Plutonium is not like uranium. It's a very
22 reactive metal. Plutonium in contact with air oxidizes very
23 rapidly, and the oxide has a larger volume than the metal,
24 and as a result, I've seen cases of failed containers that
25 were welded shut and were ruptured when the plutonium oxide,

1 there was a pinhole leak and air leaked in, and as the
2 atmospheric pressure changed, it sort of cycled pumped air
3 into the container and then ruptured the container.

4 Plutonium also hydrides very badly. So if you wrap
5 it up in a plastic and you get some radiolitic decomposition
6 of the plastic and produce some hydrogen, you'll get a rapid
7 hydriding of the plutonium and that's followed by a rapid
8 oxidization and you've got peanut butter basically. So it's
9 a very difficult material, but properly controlled and
10 properly stored, it can be very safe.

11 We're supposed to promote effective non-
12 proliferation policies and set an example for other nations.
13 We're going to operate in an open and transparent manner and
14 develop consensus. And like I said, the project reports to
15 the under-secretary.

16 The first thing we have to do is identify what's
17 excess, and we have to confirm the inventory. There was an
18 interesting article in the front page of the New York Times
19 about two or three weeks ago where Tom Cochran, who some of
20 you may know from NRDC, said that we were missing one and a
21 half tons of plutonium. And that can give you quite a
22 headache if you made bombs out of it, and the problem is that
23 the current state of the art inventory systems weren't put in
24 place until the late 1960's. So what went on before them was
25 somewhat approximate.

1 But there's a lot of work going on to straighten
2 out the inventory of how much plutonium did we make out here
3 and at Savannah River, how much did we acquire by other
4 means. For example, when West Valley was processing
5 commercial spent fuel, the Department took the plutonium from
6 there. It didn't go into the commercial world. So we
7 essentially bought it. And then how much do we have in the
8 inventory and where did the rest go. We blew a lot of it up
9 in the desert, and one thing about the laboratories, they
10 have very good records on how many atoms of plutonium were in
11 each device, so you can add all that up, and that's a few
12 tons. And some ended up, you've heard stories about the
13 plutonium in the ducts at Rocky Flats, and some is in the
14 ducts, there's so many kilograms there, and some ended up in
15 solutions in waste and so forth, and some of that may have to
16 be estimated. But we've got to account for all this.

17 The next thing we have to do is identify with the
18 Nuclear Weapons Council, and this is based on how many
19 weapons we're going to have and a strategic reserve that we
20 will maintain, how much plutonium will be kept in reserve.
21 For HEU, Naval reactors uses it as fuel, and they're one of
22 the bigger users of highly enriched uranium. So there's
23 Naval reactors requirements. There may be other program
24 requirements.

25 After we've identified that, everything else is

1 surplus or excess, and that's what we'll be dealing with.
2 Some of the excess may still be in classified shapes, so
3 we're working out methods that could be used for
4 international inspection without revealing the classified
5 information. And if you want to see an interesting session,
6 you ought to see ten laboratory people in a room together,
7 and you've got ten squared ideas on how not to do that.

8 Now, even some of the material held for future
9 program needs we may put under international safeguards. You
10 know, it's rather interesting with this material; in the
11 1940's, Bernard Baruch suggested that an international bank
12 be established for plutonium and highly enriched uranium, and
13 nations could deposit their material in it and draw it out
14 when they needed. And you know something? That was a pretty
15 good idea. I don't know where the bank branch would be, but
16 that may be something we get back to. Yes, Switzerland. Put
17 it at Fort Knox.

18 The transparency is very important. All the
19 agreements in the world aren't going to mean anything if we
20 don't have confidence in those agreements. So transparency,
21 which really means the ability to see what's there, for the
22 Russians to see what we have and for us to see what they
23 have, and maybe expanding that to other nations eventually,
24 is extremely important.

25 So we are unilaterally, as I said, making some

1 surplus materials available to International Atomic Energy
2 Agency inspection. We're beginning this with Vault 16 at Y-
3 12 down at Oak Ridge, and we're putting some highly enriched
4 uranium in there, and that's supposed to be ready by
5 September. And other sites will follow, like for example
6 there's a vault being looked at out here on the Hanford
7 Reservation for this. And over a period of several years, we
8 will eventually get most of this surplus under international
9 inspection.

10 Now, the program we've got, I always eventually get
11 to this, and this isn't really as bad as it looks. It's
12 copyrighted, though, because I've sold it to Milton Bradley
13 for a board game. But I want to explain what this program
14 is, and I'll just quickly run through this. We've got a
15 bunch of ongoing activities; there are technical studies,
16 there's criteria development. We've put together a National
17 Environmental Policy Act strategy, and we've got work on non-
18 proliferation.

19 I mentioned that we're doing a material
20 vulnerability study. The first part is plutonium, and that's
21 supposed to be finished this fall, and then we're going to
22 look at highly enriched uranium, we're going to look at how
23 the uranium-233 is stored, and we have some of that. And by
24 the way, that has a pretty low critical mass; outside of the
25 health physics problems in handling it, it's a weapons usable

1 material. And there are some other cats and dogs, like
2 Neptunium-237 and Americium-241 that we've got.

3 So we will develop these vulnerability analyses.
4 Out of that will come corrective action. At the same time,
5 we're developing plans for this international control, these
6 inspections. Out of that may come corrective action, because
7 you may have to rearrange materials, you may have to
8 segregate material in a vault or move it around, and that's
9 going to dictate an interim condition, and that's what I call
10 the safe controlled, inspectable interim storage.

11 At the same time, we're going through a process,
12 both an EIS process and a technical process, to reach
13 decisions on two basic areas; long-term storage beyond the
14 interim of all the material, not just the surplus, and
15 disposition of the surplus. Now, some of it is easy. The
16 easiest thing to do with highly enriched uranium is blend it
17 down to low enriched uranium and then you don't have the
18 proliferation risk, and you can also sell it and that covers
19 at least your cost of doing that. So you get it down below
20 20 per cent where it's not of concern of proliferation of
21 nuclear weapons, and we could sell it and feed it into the
22 commercial fuel market over a period of time.

23 By the way, we're also buying 500 tons of Russian
24 HEU that will be blended down over in Russia and brought over
25 here and the Uranium Enrichment Corporation will be selling

1 that for the commercial fuel market. I think it's over about
2 a 10 or 15 year period.

3 Now, the biggest problem with that deal is working
4 out the details of how do we verify that the stuff they're
5 blending is really the HEU that came from the weapons.

6 That's important because, one, that verifies that they
7 actually dismantled weapons. The other thing is even if it
8 was other HEU, it would be at least reducing their inventory,
9 but we wouldn't be knowing that it came from weapons.

10 They're doing this in a plant where they produce low enriched
11 uranium, and how do you know it isn't just the UF6 coming out
12 of the pipe from the low enriched and they're really in this
13 other room saving the HEU.

14 So these details are in the process of being worked
15 out; how do you sample, how do you inspect, and this is tough
16 because they don't necessarily want us in all this stuff.

17 But, you know, as part of the deal of buying it, we've got to
18 be able to verify that that's the source of the material.

19 We are going through some studies and feasibility
20 studies, and we're going to go through a screening process
21 over the next four or five months, and we're going to throw
22 out some of the crazy schemes. We have also started a
23 process to produce a programmatic environmental impact
24 statement on long-term storage of all the materials. It will
25 weigh the alternatives for that from an environmental point

1 of view, and disposition of the surplus. The notice of
2 intent for that PEIS should be in the Federal Register next
3 week. It's all been approved.

4 We have a series of studies under way and we're
5 starting this PEIS. Ultimately that will lead to a record of
6 decision, which is what ROD stands for, and that's on the
7 long-term disposition options and the long-term storage
8 options. It also may dictate that there's further
9 development needed for some of the long-term elimination
10 options, because most of the things that are available to us
11 today are alternatives or options that don't necessarily get
12 the plutonium off the face of this earth. They may change
13 its form, and from a proliferation point of view, that's a
14 good thing to do, particularly if the form is substantially
15 and inherently more resistant to proliferation or diversion
16 of the material.

17 We are working, in fact we had a meeting a couple
18 of weeks ago over in Moscow with the Russians, and some of
19 this we're going to study jointly, with the idea of
20 developing some things where we'll have reciprocity. They'll
21 do them and we'll do them. It's going to be difficult
22 because the Russians really want to save all their plutonium
23 and use it in breeder reactors and we don't want to, so we're
24 at different ends of the pole here. So there's a long road
25 ahead, but they agree to at least start investigating this.

1 The concern in Russia, frankly, is the instability
2 of the nation. There was a recent article, a series of
3 articles in the New York Times on the Russian army, and I
4 don't know what people earlier this year--the Russian army is
5 getting down to like 1.1 million people, 600,000 officers and
6 500,000 enlisted men. Now, there's a reason for that ratio,
7 and that is that all the enlisted men are draftees, they're
8 all conscripts and in Russia nobody pays attention to the
9 laws, they don't go. And the officers refuse to get out of
10 the army because there's no place for them to live and no
11 jobs for them, so they've got 600,000 people, officers, who
12 have the wherewithal to divert material.

13 And the author of this article said he visited a
14 base where their crack airborne division was based, I guess
15 the equivalent to our 82nd airborne or the 101st airborne, or
16 something like that, and they had rice gruel for lunch, and
17 they were taking the army vehicles into town and selling fuel
18 out of the tanks so they had enough money for food. So you
19 start to have nightmares about when will some of these people
20 say, hey, I can sell plutonium to Muammar Qaddafi. I can get
21 millions of dollars for it, and that's the scary party of
22 this. So we want to get control of their material. We can't
23 just walk over and take it; we've got to get them to do it.

24 We are helping them under this Nunn-Lugar and we're
25 setting up material control and accountability systems for

1 them and going to teach them how to do that, and providing
2 equipment for that. We're helping them design a storage
3 facility for highly enriched uranium, in fact, it's now two
4 storage facilities, and plutonium, that they're going to
5 build one in Tomsk and one at Mayak, which is in Chelubinsk
6 area. But it's a real problem. So this is an effort that
7 essentially we have underway.

8 The scope of the disposition options, and I'm
9 talking about plutonium now, I mentioned that uranium is a
10 lot easier, is first of all storage. We're looking at a no
11 action alternative. We have to. And that's where it just
12 stays where it is for long-term, upgrade in place, and those
13 upgrades would really be to improve the ES&H capabilities of
14 the storage. Some of the storage facilities around the
15 complex you can't upgrade them to meet today's standards;
16 they can't meet the seismic, for example. You'd have to
17 build new.

18 Now, the National Academy of Science has an
19 excellent report and I recommend it to people, and they
20 established a standard; Meet the Spent Fuel Standard for
21 plutonium. And that's because 80 per cent of the world's
22 plutonium is in spent fuel, so the separated stuff is only
23 about 20 per cent. And there are three areas that we're
24 looking at on meeting the spent fuel standard, one is
25 actually using it as mixed oxide fuel in reactors, another is

1 immobilization, and the other is deep geologic, like deep
2 borehole disposal, and then there's some things beyond the
3 spent fuel standard.

4 I want to talk a little bit about this because this
5 affects--could affect the repository. If we were to select a
6 reactor based technology, the spent fuel from those reactors
7 would have slightly different characteristics than uranium
8 spent fuel. So we're going to fund some studies on the part
9 of the Civilian Radioactive Waste Program to identify what
10 the repository impacts would be of using plutonium as mixed
11 oxide fuel in reactors. And our preference is to use
12 existing reactors, so it would be replacement spent fuel, not
13 additional spent fuel. If we can't find any existing ones,
14 then there may be new reactors.

15 The same thing with immobilization; that's
16 vitrification in glass or in a ceramic or something like
17 that, what's the waste form and what would be the impact on
18 the repository, whatever repository. So we're going to work
19 with the Civilian Radioactive Waste Program to do that.

20 The deep geologic disposal, the deep borehole, is
21 being studied. The Academy said they didn't know much about
22 it, but it ought to be looked at, so we're looking at that.

23 Beyond the spent fuel standard is basically
24 alternatives where you almost completely either fission or
25 destroy the material and leave a very small amount of

1 residual in the waste form. But the interesting thing is no
2 matter what we do with it, there's a waste form and
3 eventually that waste form has to go somewhere. So I think
4 it will all be studied for what happens to it in the
5 repository.

6 Like I said, I skipped over some things. If there
7 are any questions, I'll be happy to answer them, unless you
8 want me to hold that for later.

9 DR. VERINK: Are you ready for a couple questions?

10 DR. CANTER: Sure.

11 DR. VERINK: Are there any questions?

12 DR. LANGMUIR: Langmuir; Board. I understood that the
13 Nuclear Energy Agency was being funded and was concerned
14 about reactor safety and operation and payment of reactor
15 employees, that sort of thing, in the USSR. Is this
16 something that we are working on? How are we dealing with
17 this? Is your group at all involved with that?

18 DR. CANTER: No, our group isn't involved in it, but the
19 Department is. And there's several initiatives to help the
20 Russians with the safety of their reactors. One's called the
21 Lisbon Initiative, and it's actually managed under the
22 Nuclear Energy part of the Department, and Brookhaven
23 Laboratory has the lead on that, and it's trying to--and
24 there's a number of U. S. firms involved to design safety
25 improvements to the reactors. The RMBKs, which are like the

1 Chernobyl reactor, there's a tentative agreement on the part
2 of the Russians to shut them down eventually. We don't have
3 dates. So they're not going to do much with them. But like
4 the VVR 1000s, which are PWRs, they're not bad reactors, they
5 need some substantial improvements.

6 There is one glitch in that. If you do work and
7 you design something in the United States for a reactor, your
8 liability is limited under Price-Anderson. If you do work in
9 other nations, they have something similar in the Western
10 world. The Russians don't have any such thing, and they also
11 don't have a treasury, so nobody would believe it anyway. So
12 the U. S. firms that have been involved with this have all
13 stopped work because something has to be done, because if you
14 have an accident in Russia like Chernobyl, which was in--
15 which is now the Ukraine, but you know that was picked up in
16 Denmark and your third party liabilities could be extensive,
17 they could be infinite and, you know, companies like Bechtel
18 and others, they've got assets and they don't want to lose
19 them. So the government is working on trying to set
20 something up to underwrite this so they can get on with this
21 work.

22 DR. DI BELLA: Carl DiBella. Is there a time table for
23 the government making a decision on what the preferred way of
24 disposing of plutonium will be?

25 DR. CANTER: Yes. Let me run quickly through the time

1 table. Like I said, the notice of intent for this
2 programmatic environmental impact statement will be published
3 in the Federal Register next week. We're going to have a
4 four month public scoping period and solicit from the public
5 what alternatives should be examined and what are the issues,
6 like is usually done on these things. That will close about
7 the middle of October.

8 In the meantime, we're starting to gather the data.
9 We have some technical studies underway to provide
10 information, and we'll be shooting for publishing the draft
11 programmatic environmental impact statement for public
12 comment next summer. We will identify in that draft the
13 preferred alternatives. There will be a public comment
14 period on that, with the objective of finalizing that PEIS by
15 March of '96, with the record of decision in April, 1996. So
16 we're talking about the spring of '96.

17 Now, if we can figure out ways to do it quicker,
18 we'll try to do it quicker. But those of you that have been
19 through a NEPA process, you know that that has a life of its
20 own. And we want to do it right. The decision maker may not
21 be the Secretary of Energy. The Secretary of Energy may just
22 make recommendations. The decision maker on this may be the
23 President.

24 DR. VERINK: One more question before we go to the last
25 speaker?

1 DR. LANGMUIR: You mentioned and we're all aware that 80
2 per cent of the plutonium is in spent fuel. It's obvious we
3 want to protect ourselves from proliferation with plutonium
4 that's already plutonium as such. But the technology for
5 getting that plutonium out of spent fuel is not very complex,
6 is it? Wouldn't it be--isn't there just substantial risk in
7 spent fuel as a potential source of plutonium for
8 proliferation?

9 DR. CANTER: Yes, there is. The policy statement from
10 the President has some language about this. It basically
11 says we will not encourage reprocessing of spent fuel. But
12 then it recognizes that some of our trading partners, like
13 the United Kingdom, France and Japan, are either reprocessing
14 spent fuel or planning to reprocess spent fuel. And so it's
15 somewhat almost an internal conflict in the policy statement.

16 The United States has had a policy since 1977 for
17 not reprocessing spent fuel. An effort was made in the early
18 Eighties to get that reversed and it was slam dunked pretty
19 hard. Getting the Japanese not to reprocess spent fuel, or
20 the French, is a monumental task. But the one thing we can
21 say is that the United Kingdom and the French and the
22 Japanese have good safeguards on it and they do have
23 inspection and they do have controls over the material and
24 they do have good accountability. So you don't have to sit
25 up at night and lose a lot of sleep on it. It is a concern.

1 We are not proposing any option to get rid of
2 plutonium that will involve reprocessing of spent fuel,
3 because it's not our policy. Now, putting the plutonium in
4 spent fuel, if the Russians would do that, still requires
5 some safeguards to make sure that in the dead of night,
6 they're not taking the spent fuel and running it through
7 their reprocessing plants. And they have extensive
8 reprocessing plants, far more than we have, so it still
9 requires some institutional barriers in the form of
10 safeguards or IAEA inspections to make sure they're not doing
11 that.

12 DR. VERINK: Thank you very much. Dr. Sareen?

13 DR. SAREEN: My name is Sareen and I work for the M&O,
14 and what I'd like to talk to you about today is the RW
15 proposal for studying the feasibility of taking converted
16 plutonium and final disposition in the geologic mined
17 repository.

18 As Howard showed in one of his diagrams, the total
19 system essentially looks like dismantling of the plutonium,
20 interim storage for a period of about ten to twenty years,
21 conversion of the plutonium by one of several methods, the
22 reactor method and the immobilization that Howard talked
23 about, and there is some talk about using accelerators,
24 although that's not very high on the priority list, and then
25 final disposition either through a geologic--in the geologic

1 media like the mined repository, or the deep borehole
2 disposal.

3 We have, in order to accomplish our job, we have
4 several interfaces with some of the other components of the
5 entire system. We have some physical interfaces that relate
6 to the waste form characteristics that have to come in either
7 through the reactor burnup or through the immobilization
8 form. We need to know the isotopic composition, the physical
9 and chemical characteristics. We need to understand the mode
10 of transportation that the fuel is going to come in in, know
11 what the containers are going to look like, and this is both
12 the cask as well as the containers. And we also need to know
13 the quantity, the rate and the schedule at which all of these
14 things are likely to show up.

15 We have certain administrative interfaces that are
16 related to the materials control and accountability and
17 safeguards and security that we have to worry about from a
18 plant design point of view. And, clearly, the
19 regulatory/statutory issues associated with handling
20 plutonium, and I'm going to talk about that more in a second.

21 The interface philosophy that has been established
22 on this project, which is the Nuclear Materials Disposition
23 Project, is that there will be certain requirements that will
24 be imposed upon the geologic disposal component sub-system of
25 the total system. However, there will be certain

1 requirements that the geologic disposal will levy back onto
2 the front end of the system, and this will be an iterative
3 process to ensure that both the front end and the back end
4 are compatible and are in a workable situation.

5 From an organizational point of view, the nuclear
6 materials project has assigned Sandia the lead for the
7 technical integration on this whole project for them. They
8 are producing an interface control document and our
9 requirements are feeding into the ICD, and Sandia will
10 facilitate the technical interchanges between the various
11 facilities.

12 The work as we see it is primarily driven by the
13 PEIS and the record of decision, which is to occur in April,
14 1996, with the initial data flow for the PEIS starting around
15 the end of this year, November, December, January time frame.

16 We have several tasks that we have identified that
17 we believe are necessary to support this record of decision
18 and the PEIS. One is essentially a systems engineering task
19 which looks at all of the alternatives and things of that
20 nature, to develop the issues and assess the impacts, develop
21 some of the interface requirements, perform some sub-system,
22 that is the geologic repository being a sub-system, level
23 analyses, and integrate all of our other functions.

24 The message in this task on the regulatory task is
25 essentially what are the current statutes and regulations,

1 and do they have any special issues associated with the
2 disposal of plutonium. If they do, we need to identify them
3 and recommend some mitigating measures.

9 The design and operations task essentially is based
10 on evaluating the impacts of the waste forms. And
11 criticality is really one of the biggest issues that we have
12 to look at. We have to look at--we will compare all of these
13 designs against the existing designs, some baseline design
14 for the repository right now, establish cost and schedule
15 impacts, and generate the data that will be needed for the
16 performance assessments.

17 The performance assessments will be done and
18 conducted in two categories; one is the long-term prediction
19 of the waste package, much like we're doing right now, and
20 the other one would be the total system, that is, the
21 repository as a whole, based on the new waste forms.

22 And the comparison will be, for lack of anything
23 better right now, against Table I, or 40 CFR 191, and any
24 other plutonium release limits that EPA and other regulations
25 might impose.

1 That's essentially the scope of the work that we
2 will be performing in support of Howard Canter's efforts.

3 DR. VERINK: Any questions or comments from the Board?

4 DR. DI BELLA: Carl DiBella. I've got a question about
5 criticality. Do you expect if you, in analyzing the MOX
6 option, that the criticality concerns are going to be
7 significantly different than normal spent fuel concerns?

8 DR. SAREEN: That's one thing, Carl, we have to look at.

9 The increase in plutonium probably in order of about 6 per
10 cent or so probably in the MOX fuel versus about 1 per cent,
11 and to tell whether or not that causes a problem (a) during
12 the design of the waste package. Second, and more important
13 one is, what happens with time. And this becomes perhaps an
14 issue if we have vitrified logs, the glass logs. If there is
15 leaching of the glass and there is a concentration of
16 plutonium, we would need to know that up front.

17 DR. CANTER: I want to add to that. Howard Canter. I
18 want to add to that a little bit because the vitrification
19 option has to be studied and some experimental work will have
20 to be done. The vitrification work that's been done by the
21 Department is pretty much to vitrify wastes.

22 For example, we do not know exactly how much
23 plutonium we could dissolve in the matrix of glass, and it
24 hasn't been experimented on this, and to what form we have to
25 convert. We have plutonium in metal, the bulk of it is in

1 metal, and you just can't throw that in a pie. Some people
2 think it will be very easy to just go vitrify it down at
3 Savannah River, but the melter down there is too big. We
4 would turn it into a reactor. So we have to go to a much
5 smaller melter for criticality control. We don't know what
6 the integrity of the glass form would be and what weight
7 percentage of plutonium we could add to glass and still have
8 it good. There's a lot of work has to be done with this, and
9 that will lead to providing information to look at what
10 happens in the repository.

11 I think with regard to the spent fuel from MOX, if
12 I take the nominal 4 per cent as plutonium oxide in place of
13 the essentially the 4 per cent enrichment of U-235 oxide, and
14 you can make some assumptions on the per cent burnup, but
15 what you'll have is maybe half of that left in spent fuel.
16 You'll still get production of plutonium in the U-238
17 component, so as I said, we're not necessarily getting rid of
18 the plutonium by doing that. We're changing its form.

19 And the other interesting thing with that is that
20 we're adding--that form will have an inherent level of
21 radioactivity, which is a barrier to diversion of the
22 material. In the vitrification option, we would get the
23 radioactive material that we'd want to mix it from from the
24 high-level waste that we've got. But one of the problems is
25 that high-level waste is getting old. Some of the stuff at

1 Savannah River, by the time we're doing this, will be 65 or
2 70 years old. We've gone through two half lives of cesium.
3 So we may have a shortage of good clean high-level waste to
4 do that, but that's the kind of thing, and when they talk
5 about systems analysis, you really have to look at it as an
6 entire system when you're looking at these kinds of options,
7 because it's not quite as simple as a lot of people think.

8 DR. REITER: Leon Reiter; Staff. Sareen, both you and
9 Howard mentioned the idea of deep borehole disposal as
10 opposed to geologic disposal. Could you give us some idea of
11 what is meant by this, who proposed it, what the rationale
12 was?

13 DR. SAREEN: I'm not the right person to talk about
14 borehole disposal. Perhaps Howard can address that. The
15 rationale I believe is, as Howard pointed out earlier, that
16 it was almost like an after thought in the NAS report that
17 said oh, but maybe you ought to also look at the deep
18 borehole disposal.

19 DR. CANTER: The description by the Academy of deep
20 borehole disposal is where you put the plutonium, and you
21 don't convert it to a glass form or something like that, but
22 you put it in some suitable canister in a deep borehole that
23 may be four to six kilometers deep. And this has been looked
24 at in Europe, by the way, and so we're not the first ones.
25 But the Academy are the ones who recommended that we examine

1 this. We're taking a look at it. We're using the
2 laboratories in the same manner that they were used on this
3 program; I think Livermore looking at the engineered barrier
4 and Los Alamos looking at the far field, and to try to see
5 whether this is worthwhile investigating further. This may
6 not go beyond our initial screening process.

7 DR. LANGMUIR: Langmuir; Board. I read some ten years
8 ago in the Russian literature that they were proposing, since
9 they're the masters of deep holes in the crust, of putting
10 their nuclear wastes down at 30 to 40,000 feet and pouring
11 lead in the hole afterwards as a way of getting rid of it.
12 It's a fairly expensive approach, but I don't know whether
13 they did any work on it.

14 DR. CANTER: I don't know. That will probably be one of
15 the things we find out in dealing with the Russians, how far
16 they've gone, and we may learn a lot from them.

17 DR. VERINK: Any other questions from the Board? Staff?
18 Anybody in the audience? Yes. Give your name, please.

19 MR. BARNARD: I'm Ralston Barnard from Sandia Labs in
20 Albuquerque. This may be a stupid question, but I'll ask it
21 anyway. With regard to the reactor conversion, I'll say, or
22 treatment of the plutonium, do you envision some type of
23 refabrication process which takes all these different shapes
24 and physical forms and stuff like that, and somehow subjects
25 this plutonium to reactor or radiation and then it is

1 available in its irradiated form for disposal in a mined
2 geologic repository or elsewhere?

3 DR. CANTER: The reactor option, obviously in looking at
4 that option, it's not just the reactor end of it. It's using
5 the plutonium as mixed oxide fuel in reactors, and since most
6 of our plutonium is in metal shapes, we'd have to have the
7 capability of converting it to oxide that meets the fuel
8 spec. We have to have the fuel fabrication facility, and I
9 found it very interesting that Jerry Ethridge is looking at
10 the FMEF to store spent fuel in, because we were thinking of
11 looking at the FMEF, which has a fuel safeline, which is a
12 fuel fabrication capability. I think it needs a lot of work,
13 but that's okay. I guess the first one who gets there can
14 have it.

15 But there are commercial interests who, if they're
16 assured of a long-term contract, would build fuel
17 fabrication. But in looking at it again, you have to use a
18 systems approach and take a look at it from beginning to end,
19 and the back end is what do you do with the spent fuel, and
20 the spent fuel is part of the spent fuel to go to a
21 repository. But even the front end is substantial.

22 DR. VERINK: I'm going to make a firing line change on
23 the schedule. I'm going to suggest that we defer the break
24 and do the comments from the audience now. And then we'd
25 take--do this for a half an hour and then take the break. It

1 will allow us to rearrange the auditorium for the closing
2 round-table discussion. Is that all right?

3 MR. HONEKAMP: John Honekamp with SAIC. I just have
4 kind of a followup comment to the response on the question of
5 criticality on MOX fuel. I've been involved in the studies
6 Howard mentioned on using MOX fuels in existing reactors, and
7 to a first approximation, most of those studies are looking
8 at taking the fuel to the same burnup you do now. And at
9 that point when it's discharged, you're usually getting about
10 60 per cent of your fissions from plutonium, because the
11 uranium has been converted. So that's in a normal uranium
12 fuel cycle.

13 Under those conditions, when you discharge that
14 fuel, it will not look much different from a criticality
15 standpoint than the normal fuel that you're getting, either
16 isotopically or total fissile content. So, I mean, it's not
17 a totally definitive, but it's been looked at and it is
18 essentially the same, and it gets rid of--that process gets
19 rid of, as Howard said, not all the plutonium, but it gets
20 rid of about 40 per cent of what you net, net reduction in
21 plutonium. So you're still left with about something like 60
22 per cent.

23 MR. JOHNSON: Carl Johnson with the State of Nevada.

24 I'm going to follow up a little bit on I think it
25 was a question that Bob Cook from the Yakima Nation asked

1 this morning, and I'm going to come at it from a little bit
2 different perspective.

3 In the opening remarks that the chairman made this
4 morning, he asked one question that's also contained in the
5 announcement for the meeting, and that is how could surplus
6 weapons plutonium potentially affect plans for high-level
7 waste repositories. Well, he went on to say that there is
8 only one high-level waste repository under consideration, and
9 that's Yucca Mountain. Yet in the two presentations, we
10 heard nothing that referred directly to Yucca Mountain. But
11 I'm going to say that from the State's perspective we do have
12 concern about plutonium as well as other materials as they
13 might affect a repository.

14 We have access to plans from both Rocky Flats and
15 from PANTEX that specifically identify the Nevada test site
16 as the location for disposal of their plutonium. That has
17 really caused the State some concern as to what type of
18 geologic disposal is this going to be. Is this going to be
19 part of Yucca Mountain or is it going to be disposed
20 somewhere else on the Nevada test site, such as deep
21 boreholes which we just heard about?

22 That has led to our governor communicating with the
23 Secretary of Energy as to what is going on here relative to
24 geologic disposal. Are we looking at possibly two geologic
25 disposal sites on the Nevada test site, or are we just

1 heaping more into Yucca Mountain? And that kind of leads to
2 what the governor has asked for, and that is that we need an
3 overall programmatic EIS document that describes all of the
4 disposal activities that are going to take place on the
5 Nevada test site.

6 And, of course, then that brings in what Bob Cook
7 says that we need a more coordinated set of EISs that also
8 bring in what Hanford is doing, what Savannah River is doing,
9 and all these various other things, because they all fit
10 together into a very coordinated or at least into an overall
11 picture which seems to be emerging, and what I think my
12 comment is that I would encourage the Board to continue to
13 pursue and investigate this because this is quite a web that
14 I think we're just trying to at this point get kind of a
15 taste for from this meeting.

16 I thank you.

17 MR. PENBERTHY: Good afternoon. My name is Larry
18 Penberthy, Penberthy Electromelt. We're long-term developers
19 of vitrification, that is, glass melting, and our processes
20 are now producing 16 million tons of glass a year. That's
21 commercial glass bottles, plate and the like. So when you
22 talk about the vitrification problems at Hanford, we total
23 that up and it's only about 400,000 tons. That's an
24 interesting quantity to a glass maker, but it's certainly not
25 impressive, and so therefore, what I'm saying is let industry

1 get in on this.

2 Now, it's related to Yucca Mountain in this way.

3 The present plan in which we are now getting involved, we
4 have one of the awards for the evaluation of our process for
5 the liquids, that is, the sodium nitrate to be converted into
6 glass. The plan now is to take the cesium out at
7 considerable expense, really expensive. Just the plan alone
8 is estimated \$258 million, just for design. I do not know
9 the numbers on that, but it gets way up into big bucks to get
10 the cesium out, because cesium is not easy to get out. A lot
11 of it has been complexed and the chemistry is not really well
12 established or known.

13 What we can do, however, when we're making glass
14 out of the sodium nitrate, we reduce the nitrate to the
15 oxide, and then it makes a good glass. Here's a piece of
16 glass that is about two-tenths of a percent cesium. The
17 point is that we can use the cesium, which is one of the
18 alkalis, to make glass just as well as we can use soda or
19 lithia or potassia, all over in Group I, and they are all
20 alkalis for making glass.

21 Ordinary glass like this, tableware, plate glass,
22 has 15 per cent soda, and our task is to increase the soda
23 and still not get too much solubility in this assignment that
24 we're just starting now for Westinghouse Hanford.

25 But what I'm getting at is that we can work glass

1 furnaces very well remotely and, therefore, we don't need to
2 wait for a cesium removal plant and all its uncertainties.
3 We can start end processing the glass with the cesium content
4 already in it and leave it in the glass.

5 Now, cesium has been misunderstood. Sure, it's a
6 high-level, it's .66 MEV, and there's a lot of it, but that
7 doesn't mean that it's a long life. Cesium has about 30 year
8 half life, and the age of the United States, 220 years,
9 you're dealing with something like seven half lives of
10 cesium, and you start multiplying half, half, half out seven
11 times, there's not a lot of cesium left.

12 So what I'm proposing to you that the space, the
13 volume in Yucca Mountain is far too costly and far too
14 valuable to consider putting cesium in it, if that's the only
15 thing. Cesium should be left right in the plateau at
16 Hanford, and then it can be made into excellent glass. We
17 can make glass a thousand times better than borosilicate
18 glass, and then put it into metal boxes like cast iron boxes,
19 which are really very good when buried, and they would then
20 be stored in what are now the grout vaults, or they would
21 become glass vaults. And then leave them, you put on, after
22 you've filled it up, you put in your heat pipes to remove the
23 heat, and then cover it over with slabs, concrete slabs,
24 resting on columns, and then you would cover that with 10 to
25 15 feet of soil, and the final layer of rock and some

1 concrete slab if you wanted, perfectly secure for all time.

2 It wouldn't matter if the whole Columbia River
3 flowed across the good glass that we can make, you've seen
4 pop bottles in the ditch, they haven't dissolved, and we can
5 make glass which is much better, a thousand times better than
6 the Macedonians made, the Mesopotamians made back 4,000 years
7 ago, and yet their glasses have survived.

8 So what I'm saying is for the general protection of
9 the United States Treasury and the taxpayers, we need to get
10 off the idea of removing the cesium. It has no value, no
11 function at all for the benefit of the disposal of hazardous
12 waste. It will be a little different when we get down to the
13 transuranics, which are in the sludge, but we're talking
14 right now about the first phase, which is the sodium nitrate
15 salts with the accompanying cesium.

16 Thank you.

17 DR. VERINK: Any further questions or comments?

18 MR. PENBERTHY: I have some copies of this one page
19 write-up on cesium over here at the desk, and I have them at
20 the front desk as well. Were there any questions for me?

21 Thank you.

22 DR. VERINK: Does this mean everybody agrees?

23 Hearing no questions or no comments, we'll adjourn
24 now for 15 minutes to get set up for the round-table.

25 (Whereupon, a recess was taken.)

1 DR. VERINK: This will be a free for all event. We'll
2 kick it off with the people at the table, and then be
3 prepared to get into the discussion, and in doing so, use the
4 microphones, identify yourself so that the record will show
5 who was here, your name and your association, and we'll take
6 it from there. Who's got the first question?

7 DR. LANGMUIR: Langmuir; Board. It's clear to me from
8 what we've heard today that there are potentially a great
9 many kinds of materials that need to go to waste disposal,
10 and one of the first things--you know, until I came here
11 today, my sense was that, well, it's going to go to
12 borosilicate glass and it will be fairly routine in the sense
13 that we can probably predict what its compositions will be.
14 But I'm not so optimistic that we can predict what those
15 compositions will be, and my sense is I'm not sure that you
16 folks can either. But I'd be curious what your thoughts are
17 on being able to guarantee some compositions for the waste
18 materials that might go to a repository.

19 MR. RANDKLEV: I'll take some crack at that, given that
20 Steve Schaus isn't here to help with that one. Certainly for
21 Hanford and the new TPA agreement which makes the commitment
22 to look at the composite of single-shell and double-shell in
23 terms of an integrated program of disposal, in all likelihood
24 that's going to involve a certain amount of or certain
25 fraction of blending of some of those wastes, and that

1 selection of waste feeds, if you will, that will come to
2 eventually high-level is, in terms of timing, going to be
3 somewhat influenced by the concern over certain safety issues
4 with regard to existing tanks. But beyond that, it will get
5 down to this topic of what I would refer to as waste
6 feed/product types.

7 Savannah River, for instance, I'll try to make this
8 short, but Savannah River has for years forecasted that
9 they're only going to make four waste types. It's all going
10 to go into borosilicate glass, but they had projected--
11 they're blending their wastes and they have projected these
12 particular waste feed types, and they turn out to be really
13 very similar. They don't have nearly the number of tanks
14 Hanford does, and they didn't have this split, if you will,
15 between a big inventory of material that wasn't even thought
16 of as being part of the initial vitrification program like
17 Hanford's was, which was only dealing with double-shell
18 initially.

19 So what Hanford is starting to do now collectively
20 between the elements of the TWRS, its pretreatment
21 characterization and the vitrification folks, is to start to
22 design a process, you know, definition of the overall
23 processing that starts to take a look at how many of these
24 waste feed and product types would we propose trying to make
25 in order to accommodate certain known restrictions, mostly

1 chemical solubility restrictions having to do with what it is
2 you can get into a borosilicate glass or some other glass
3 compositions.

4 So what I'm saying is that the problem you're
5 mentioning is one that will be addressed and is being
6 addressed as a general topic by simply getting at this
7 question of how is it we're going to stage the remediation
8 and disposal of these, you know, this waste inventory out
9 there. Beyond the split now of low-level to high-level,
10 you're going to end up with high-level with stuff coming in
11 from all of these various tanks, and they're not all going to
12 be dealt with in one big, you know, grand blending event.
13 But it's not clear at this point just how many of those waste
14 feed types you might try to deal with from an optimization
15 standpoint. And right now, what's being looked at is merely
16 the technical featuring of that and what has to occur beyond
17 that is the process or the step of looking at an actual
18 optimization of that topic in terms of both technical
19 featuring and the costing.

20 So it won't be that long in the future before
21 Hanford would have some more detailed perspective. There are
22 some things already on the books just for purposes of being
23 able to proceed with the problem, and one of them is the
24 matter of having just come up with a master blend that
25 represents what would happen if you blended the high-level

1 waste, as it's understood to be there, from all of the tanks
2 together, what would you end up with. And so there are some
3 things that just hypothetically are already down on paper in
4 the last few months.

5 DR. LANGMUIR: My sense is it would be fairly easy,
6 easier perhaps to simply be taking waste materials as they
7 become available, and they're not going to become available
8 all at the same time in your process here, and put them in
9 the repository. And my concern in part is that when you
10 start putting different materials in different parts of the
11 repository of defense nature, maybe the thermal effect is
12 fairly generally the same among those things, and they're not
13 that important relative to the fuel, but the chemical
14 consequences to the environment could be extremely different,
15 depending on what you put down there, and may locally be an
16 issue that you've got high--potentially coming out.
17 Admittedly that's a short half life, and maybe it's Neptunium
18 in some other part of the repository you have to worry about
19 as a potential leachate. So you make the environmental
20 difficulties of predicting consequences of a breach a little
21 more complex, if you mix your fuels and mix your materials.
22 If you can blend them, which I'm kind of doubting--

23 MR. RANDKLEV: I mean, they're blending them at Savannah
24 River and we, in all likelihood, are going to do some
25 blending. We have waste types even among double-shells that

1 were always perceived as being best dealt with by blending
2 them.

3 DR. LANGMUIR: But your blend and Savannah River's blend
4 aren't going to be the same blend.

5 MR. RANDKLEV: No. And some of the constituents that
6 you're referring to, transuranics, there's not going to be a
7 whole lot of difference between even blends of some of these
8 tanks. What's different and has to be dealt with, you know,
9 from a pretreatment consideration is the concerns over the
10 fact that we have some tanks that have high concentrations of
11 phosphates, it had to do with bismuth phosphate processing
12 technology. There's limited solubility unless you make a
13 particular glass that precipitates an apatite, mineral, you
14 know, that contains high amounts of phosphate, you end up
15 with a limited capability to incorporate chemical compound
16 constituents like phosphate into a borosilicate glass, as an
17 example. And it would be the same for some other glasses.
18 So that's, in part, what some of this blending is about,
19 considerations over chrome, any number of other constituents
20 for which the solubility level, as an example, in
21 borosilicate glass is relatively low.

22 DR. LANGMUIR: I suppose you're kind of wedded to having
23 one or two kinds of glass hosts for your products. But in a
24 sense, this bothered me because, for example, apatite, you
25 described the phosphates, among the least soluble forms of

1 minerals out there, and you can in phosphate apatite
2 structures, they're less soluble than the glass. If you're
3 trying to get rid of chromium, you could put it in a mineral
4 structure, and that's less soluble than anything else you
5 could put chrome in. So if you're struck with glass as a
6 potential host, you're going to have problems with a lot of
7 elements that you don't necessarily have to have.

8 MR. RANDKLEV: But glasses in general are--that's the
9 reason they're looked at as a matrix material for high-level
10 waste, that when you compare them to mineral assemblages, as
11 had been done back during some of the early development work
12 in the late Seventies on up into the early Eighties for
13 crystalline, you know, tailored crystalline waste forms,
14 glass has an ability to accommodate a much broader range of
15 constituents to at least some degree of solubility than, you
16 know, does one's ability to tailor a whole set of compounds
17 that would actually incorporate those elements in a bound
18 condition. It's really a challenge in that regard.

19 But it's certainly possible that Hanford might come
20 to the conclusion then and propose conceptually several
21 different reference product compositions in order to
22 efficiently get rid of certain inventories of material, and
23 that will just come down to choices at the local level as
24 well as at the higher system level involving RW and EM as to
25 whether it makes sense to, you know, do it one way versus

1 another. And the repository hopefully would be, you know,
2 working with us, the program, would be working with EM then
3 to provide that technical perspective on those things that
4 border on essentials relative to a repository licensing
5 performance assessment type issue versus those things that
6 are desirable from, you know, more of an economic driver or
7 something like that.

8 MR. GOMBERG: I know this won't answer your question. I
9 was going to point out that one of the requirements we put on
10 all the producers is for them to report the total and
11 canister specific inventories of radionuclides greater than
12 .05 per cent of the total radionuclide inventory. That
13 allows us the ability at least within our own system to find
14 high concentration localities, things along that line, and
15 ensure that the glass will perform in a repository.

16 DR. DI BELLA: Carl DiBella. This morning, Steve told
17 us about the waste acceptance standards that I guess are
18 mandatory for Savannah River and West Valley and are sort of
19 being used as a benchmark for the planning process going on
20 right now at Hanford. Some of those standards and
21 specifications are establishing a design, a geometric design
22 envelope. Others have to do, I would suppose, with
23 performance of the glass at the repository, and I'd like to
24 know what sort of linkage actually is there between those
25 standards and the repository performance of the glass. And

1 the next question I'm going to be asking is the performance
2 allocation between the glass and the shell, the waste
3 package, the overpacks in the repository.

4 MR. GOMBERG: I can make a real simple answer to the
5 first question, but I think it will be wrong. My simple
6 answer is probably none, but that's not entirely true. We
7 were talking about the product consistency test earlier
8 during a break, and there's an example of something that has
9 been interpreted to be some sort of surrogate to long-term
10 performance in a repository, and that's not the case. It's
11 meant to provide a short-term producer based index durability
12 of the glass as far as the overall adequacy of the glass
13 production process.

14 One of the points that we've tried to make
15 repeatedly, and I think the performance allocation that was
16 in the site characterization plan that applies to the
17 engineered barrier system and the accessible environment is
18 still pretty much the goals that we've established. There is
19 a contribution or some part of an allocation that the waste
20 form is given credit for. But in general, the performance of
21 the system elements against the NRC performance objectives
22 and the EPA accessible environment system objective is on the
23 accessible environment, the engineered barrier system or the
24 waste package.

25 Why we require this information of the producers is

1 to get the data, the envelope that we need to be able to
2 demonstrate performance of those sub-systems or total system,
3 but we don't necessarily put any direct performance on the
4 glass other than those that we can specifically allocate,
5 things such as solid form requirements, consolidation, things
6 along that line are the kind of things that we can allocate
7 directly to the glass and that we do.

8 By the way, Gomberg, RW. So I don't know if that
9 answers your question, but that's the way we've developed
10 these requirements. That's the way we've used them. We have
11 been--it's been suggested by NRC, for example, that we do
12 more to design the waste form, and I guess we don't feel
13 right now that that's appropriate, that we will design a
14 system that will meet the performance objectives and all the
15 regulatory requirements.

16 DR. DI BELLA: I guess what I'm getting at--Carl DiBella
17 again--is how Hanford can use what they have here in their
18 planning process to figure out what sort of waste form
19 they're going to make. Ed was just mentioning solubility
20 limits in the glass. So if you don't know what performance
21 you have for the glass, what difference does it make if
22 you've exceeded the solubility limit, for example?

23 MR. GOMBERG: Well, you know, an example would be we
24 have a requirement to meet one part in ten to the fifth for
25 releases greater--after 1000 years. We know that the glass

1 has certain characteristics and that we can pretty much
2 demonstrate that under the repository specific conditions,
3 that there will be certain related solubilities. The goal of
4 the repository system designers would then be to develop a
5 package and an EBS that with the waste form as a source term
6 and whatever contribution we can take credit for, would meet
7 for example the one part in ten to the fifth requirement.

8 So we're trying to get the maximum allocation we
9 can to the glass without specifically coming back and putting
10 all the reliance on the glass, because we don't think that's
11 appropriate. That's not the intent of the requirements as we
12 see them.

13 DR. BARNARD: Bill Barnard; Board Staff. I think it's
14 been obvious to everybody that, you know, we're going to be
15 disposing of spent fuel and high-level waste in the
16 repository. There's been some discussion this afternoon of
17 disposing of plutonium, too.

18 As I recall the NRC and the Office of Technology
19 Assessment, both looked at greater than Class C waste and
20 assumed that perhaps geologic disposal would be the best way
21 for dealing with that in the long term.

22 Steve, has DOE decided what they want to do with
23 commercial greater than Class C and defense, there must be
24 some defense greater than Class C waste, too.

25 MR. GOMBERG: I can tell you what I know and it's not

1 much, and then I would volunteer for anybody else who knows
2 more, please go ahead and feel free.

3 The Department is responsible for ultimately taking
4 title to commercial and defense greater than Class C waste.
5 My understanding is there is a significant amount of
6 commercial and also a significant amount of DOE owned greater
7 than Class C waste. Maybe it's more the way I interpret it
8 as a nuance in the regulations, but what the NRC did when
9 they revised Part 61, which is the low-level waste
10 requirements, is they basically said that in lieu of some
11 other DOE facility, that geologic disposal was the only
12 accepted form of disposal.

13 Under Part 60 in the Nuclear Waste Policy Act,
14 however, the NRC did not specifically come out and say that
15 this waste fits within the definition of any other waste
16 determined by the NRC to require disposal. Now, I have to
17 admit that's about where my knowledge ends, and I can't
18 really say what's going on in the Department right now to
19 develop an intermediate facility. I know there's been some
20 work going on to characterize the inventory and the
21 characteristics of greater than Class C waste and there's
22 been some--but I don't know the status of the work as of this
23 year or what not. Most of the work that I know about is
24 maybe two years old.

25 DR. BARNARD: Is there anybody else here that might know

1 about some of the work that's being conducted? I think it's
2 at INEL, isn't it?

3 MR. GOMBERG: A key part of it is going on at INEL. I'm
4 sorry I don't know more, or else I would tell you.

5 DR. VERINK: I for one, and I think there are others in
6 here who would welcome a little further comment from you,
7 Howard, on some of the things that you skipped over in the
8 abbreviated thing that you gave today. If you would feel
9 kindly towards that, I think we'd enjoy hearing about it.

10 DR. CANTER: Howard Canter. I mentioned sort of a
11 glancing blow at the question of vitrification, and the
12 option of possibly going to the vitrification or some other
13 form of immobilization of plutonium would not make sense
14 unless we did mix it with something like high-level waste so
15 that we would get the inherent radiation barrier.

16 One of the difficulties is that barrier doesn't
17 last forever, and even in the spent fuel option where you go
18 through a reactor and you create spent fuel, as people here
19 know, that the radiation barrier decays with time, and
20 fortunately a spent fuel element from a commercial power
21 reactor is rather large and it's a little hard, even if
22 somebody--even if the radiation level had decayed, for
23 somebody to just throw it in the back of a pickup truck. But
24 they would have to be obviously on whatever storage facility
25 or repository, there would have to be some degree of

1 safeguards to make sure that the material wasn't falling into
2 the wrong hands.

3 But we are probably going to very rapidly rule out
4 the idea of vitrifying plutonium without high-level waste,
5 because basically what that creates is a nice source of
6 plutonium for the future, which can be done--which you can
7 extract the plutonium chemically very easily with acid
8 basically to dissolve the glass, and then you've got some
9 chemical processes and you don't need shielded facilities or
10 anything else.

11 There are a number of other things that we're going
12 to rule out, I believe, that people have suggested, and
13 that's part of the screening process like, you know, an ideal
14 thing to do with plutonium is launch it towards the sun. But
15 if you look at a safety analysis report that was done some
16 number of years ago on some power sources for the space
17 program which used plutonium-238, and you find out that it
18 was a relatively small quantity of plutonium that was
19 considered an acceptable risk, and that's the risk of failure
20 on the launch pad or the risk of not reaching escape
21 velocity, you would find out that it would probably take 1000
22 rockets, large rockets, to get 50 tons of plutonium off the
23 earth. So I think that's another one that we could rule out.

24 There are a number of others that have been
25 suggested by people, ocean dilution is one. We signed a

1 treaty last year that prohibits disposal of radioactive
2 material in the ocean, and I don't believe we're going to go
3 out and violate that treaty. There's a deep sea bed disposal
4 method that I think also when you take a look at that, it's
5 not going to be a reasonable option and we'll discard it.

6 So we're going to get probably down to what can we
7 do in a reasonable amount of time at reasonable cost to place
8 the plutonium in a condition that's substantially more
9 proliferation resistant and inherently more, and that gets
10 down, probably down to the reactor option and a vitrification
11 option, or some form of immobilization. It will be very
12 difficult to reach decisions on this because our government
13 isn't very efficient at that, and when you start dealing with
14 decisions that take several decades to implement, as you know
15 in this program, 20 years is ten Congresses, and it's five
16 administrations. So even if you can reach a decision, can
17 the decision hold up? And that's really probably the
18 greatest risk of all, and we don't know what the Russians are
19 going to cooperate with. We'd like to do some things in
20 concert with them and we just don't know. We've just started
21 the dialogue with them on this subject.

22 DR. VERINK: Thank you. Yes.

23 DR. DI BELLA: Pursuing the same. Carl DiBella pursuing
24 the same thing. As you mentioned, there's going to be a
25 difference between the waste form for the vitrification

1 option and the reactor option. The vitrification option has
2 less long-term protection, longer than 300 years, because
3 high-level waste has very little in the way of long-term
4 radionuclides. And furthermore, the vitrification option
5 will result in essentially weapons grade plutonium, whereas
6 the reactor option would result in longer protection because
7 of its actinides and other long lived nuclides, and also will
8 be reactor grade plutonium, which is dangerous but perhaps
9 not as much so.

10 My question is really this, I know you know this,
11 is there--is the metric you're going to use for your systems
12 analysis going to be that fine to distinguish between those
13 waste forms?

14 DR. CANTER: I think the answer is yes. One of the
15 things that we're doing as one of the early steps is
16 developing criteria for deciding which options to select, and
17 that will include a lot of details. And, in fact, one of the
18 criteria has to do with the degree to which the process is
19 reversible, and there will be many, there's oh, maybe 20 or
20 30 categories in this criteria. I felt that we should have
21 the criteria up front before we do all the studies so that
22 the studies are really to fill in the blanks.

23 What we intend to do is when we get this criteria
24 in a form that doesn't embarrass us, is to get a rather wide
25 distribution of it and get input from the public and

1 interested parties and various stakeholders on the criteria,
2 and to even get input on how important different things are.
3 You know, to some people, the cost may be very important.
4 To others, the cost may be secondary, and the degree of
5 proliferation resistance much greater. The waste people may
6 be concerned about the waste disposal form, so to try to get
7 some kind of consensus. But the very things you're talking
8 about will be evaluated in this kind of criteria.

9 DR. VERINK: Are there any in the audience who have a
10 particular burning question they'd like to throw up for
11 discussion? Yes.

12 MR. DUFFY: My name is Mike Duffy. I'm with Battelle
13 out of Columbus, Ohio, not PNL. And this morning, Don
14 Wodrich put up a chart that showed that approximately 100,000
15 MTUs of spent fuel have been reprocessed up here. Then Steve
16 Schaus put up a chart that said there was about an equivalent
17 of 2600 MTHM of high-level waste here.

18 Now, the question I've got really is that--I know
19 the current repository design is constrained to 70,000 MTUs
20 of spent fuel, until which time a second repository is under
21 operation. Also, 10 per cent of that is being allocated to
22 the defense high-level waste. Now, I know that there are a
23 couple of studies done in the middle Eighties that came up
24 with this conversion I guess of the 100,000 MTUs to the 2600
25 equivalent metric tons. But I've got here a copy of the

1 Nuclear Waste Policy Act as amended, and it doesn't talk
2 about equivalency. It basically says, and I quote, "Prohibit
3 the emplacement in the first repository of a quantity of
4 spent fuel containing in excess of 70,000 metric tons of
5 heavy metal or a quantity of solidified high-level
6 radioactive waste resulting from the reprocessing of such a
7 quantity of spent fuel."

8 So my question is if I'm the State of Nevada, am I
9 going to allow you to put all 2600 metric tons of the defense
10 high-level waste from Hanford in the Yucca Mountain
11 repository, assuming for the moment that we forget all the
12 other potential sources of defense high-level waste, or am I
13 going to say you can't bring any more than 7 per cent of the
14 waste up here at Hanford down there. I don't know who has
15 the answer, but I'd be interested from both these folks here
16 as well as the Board, as well as I know some of the folks in
17 the audience might have an opinion on this.

18 MR. GOMBERG: Reluctantly, Gomberg, RW. Actually, I'm
19 going to put the burden on Barrie McLeod for a second after I
20 break it up into two issues. Barrie is the guy who does this
21 kind of stuff so he can say it more eloquently than I can.

22 Two aspects that we look at; one is to establish
23 fees, because we need some basis to establish some
24 comparable--we need a comparable basis to establish fees, the
25 utilities and the producers to put funds into the Nuclear

1 Waste Fund for the ultimate disposal of the waste. The other
2 is against the 70,000 metric ton limit. I guess I never
3 really quite, when I look at the wording, sometimes I say is
4 that 7,000 initial metric tons or is that 7,000 metric tons
5 from some larger number of initial metric tons. I don't
6 know, but let me just put it in the perspective and then I'll
7 turn it over to Barrie if he doesn't mind.

8 For planning purposes, we have said that we would
9 put, in order to total the 70,000 metric ton limit, we would
10 put 63,000 metric tons of commercial spent fuel and 7,000
11 metric tons equivalent of defense high-level waste. That's
12 the basis that Mike was using for the numbers.

13 As far as the fee goes, I'll let Barrie deal with
14 that, if you don't mind, Barrie. It's Barrie McLeod, M&O, by
15 the way.

16 MR. MC LEOD: Thanks, Steve. Well, dealing first with
17 the point brought up by Mike with regard to the 100,000 tons
18 of actual physical material, I think we heard today that the
19 average burnup was something in the order of 2,000 megawatt
20 days per metric ton. The spent nuclear fuel that we're
21 dealing with is the--the mean is somewhere between 35 and
22 40,000 megawatt days per metric ton. So let's just say
23 there's a factor of 20 difference in the amount of energy and
24 products that came out of those. So the defense people of
25 course recognized this and came up with the concept of

1 equivalency, and I believe it's a gamma equivalency. I was
2 not involved in it. Maybe there are some PNL people here.
3 Pardon?

4 Okay, curie equivalence. So it's very close to an
5 energy equivalent, in other words, with some allowance for
6 decay. So I think that explains why they converted a large
7 physical amount of tons into an equivalent amount of metric
8 tons.

9 Now, with regard to the costing and the fee, once
10 you come up with that amount of money--sorry--once you come
11 up with the equivalency and the amount of tons that you're
12 going to put in and convert that to number of waste packages,
13 the agreement that has been reached for allocating cost is a
14 purely parametric one. The repository people literally cost
15 out what it costs to emplace a large waste package, to handle
16 one waste package or the area it needs, and they compare that
17 with the same calculations for spent fuel emplacement. And
18 when you look at the costs that can be assigned
19 parametrically, they come up with a number approximately 15
20 per cent of the cost can be assigned parametrically to the
21 defense program.

22 Now, the part of the defense program--sorry--the
23 part of the total repository costs that can be assigned
24 parametrically are only about one-quarter to one-fifth of the
25 total costs, because there's such a huge fixed cost, you

1 know, 8 to \$10 billion of the program is fixed before you
2 start putting any waste in there. So the net result of this
3 is that they have also decided that then when you've carved
4 up the parametrically assigned costs as to the amount of 15
5 per cent, you're going to use that same 15 per cent to assign
6 the fixed costs against the two components.

7 Now, I think that explains how the costs are
8 assigned one you've got an equivalency. The key thing that--
9 the key impact that this has, however, is that when you
10 optimize or when you try to minimize the total system cost
11 and the total disposal of the high-level waste by doing
12 preprocessing, how much preprocessing do you do, every dollar
13 that you save in disposal cost by doing this preprocessing is
14 in fact multiplied by three or four because of this fixed
15 cost component on top of the direct disposal cost component.
16 So you have to be sure in your cost calculations when you do
17 your optimizations that that fixed component is in there as
18 well as just the direct parametrically assigned disposal
19 cost.

20 Are there any questions on that? I'd be glad to
21 discuss that in person with anyone that wants to talk about
22 it. I hope that the record might show that it was a clear
23 discussion.

24 MR. DUFFY: It was an interesting discussion, Barrie,
25 but it doesn't really answer the question that I had. And I

1 understand, you know, all the kind of systems analysis work
2 that needs to be done in order to figure out the cost fee and
3 the work that was done to come up with the equivalency, but I
4 guess maybe it needs a legal interpretation, and the question
5 remains can you say that this 2600 is less than the 7000 that
6 would be allowed to go to the repository based on what is
7 stated explicitly in the Act, and that's the question.

8 MR. GEER: If you don't mind, Steve, I'm Tom Geer; I'm
9 with the M&O in Las Vegas. I'm systems engineering manager.
10 I'm going to try to say this in a way that's--to Carl
11 Johnson's concerns, I'm sure. But I want to clarify
12 something Mike said about the Nuclear Waste Policy Act and
13 the 70,000 metric ton limit that's in there is actually a
14 hold point on the first repository. The Act itself requires
15 the NRC to impose a license condition on the first
16 repository's license that caps the capacity at 70,000 until
17 another repository is in operation. At that point, the NRC
18 would be free to lift the license condition and the ultimate
19 capacity of the first repository is not limited to 70,000
20 MTU. So I guess in whatever event we calculate the
21 equivalency, and that's beyond me because I'm just a nuclear
22 engineer, all we have to do to take care of all of the
23 Hanford problems is get that second repository in operation.

24 DR. VERINK: Anybody else have a question?

25 MR. WALTON: My name is Ray Walton. I'm retired from

1 the Department of Energy. I currently work for Argonne
2 National Laboratory. Section 8 of the Nuclear Waste Policy
3 Act required a determination as to whether defense waste
4 would be put in the repository or whether a separate
5 repository would be made for defense waste. The 70,000
6 metric tons was determined originally for commercial waste.
7 When it came time after the study on the Section 8 was made,
8 it recommended that defense waste be put into the same
9 repository as the commercial waste. This study was
10 recommended by the Department of Energy to the President, who
11 approved it.

12 After that, then it came time to decide the
13 equivalency of defense waste to commercial waste, and if you
14 really know the history of waste from Hanford, some of the
15 original fuel that was processed was only irradiated to 100
16 megawatt days per metric ton compared to 30,000 megawatt days
17 per metric ton, and the initial waste processing was very
18 inefficient and some of the very early batches had up to
19 10,000 gallons of waste per metric ton. So the defense waste
20 has been very dilute, even the very latest waste is about
21 10,000 megawatt days per metric ton as a maximum.

22 So, again, this curie equivalent was the basis that
23 was determined to come up with what is called equivalent
24 metric tons of heavy metal.

25 MR. SPRECKER: Bill Sprecker, DOE. The report that Ray

1 was referring to was published in November, 1984 and it's the
2 basis of that Section 8 requirement. If you look at the
3 table on equivalency, he's correct, it was a curie content.
4 But the interesting point is that that two to one ratio or
5 one-half, however you want to put it, was on the basis of
6 commercial reprocessed waste, and defense reprocessed waste.
7 The curie content of intact spent fuel is an order of
8 magnitude difference.

9 Now, we've been using the comparison of the
10 commercial reprocessed, this was back in '84, with the
11 defense reprocessed waste with a two to one conversion, or
12 one-half. But, in fact, we're putting, or intending to put
13 intact spent fuel in the repository, and that curie content
14 is an order of magnitude higher. So there's something we
15 have maybe to look into a little bit deeper. But in those
16 days that we had a different view of what the repository was
17 going to be.

18 MR. GOMBERG: Just an additional point I guess. When we
19 wrote the Waste Acceptance System requirements document, we
20 went and we looked for all the information we could find on
21 some sort of equivalent. What we used in that document for
22 commercial high-level waste, i.e. West Valley, I think was
23 2.3 metric tons per canister. For defense high-level waste,
24 we used half a metric ton per canister, just as a data point.
25 If anybody has any better data out there, we'd love to get

1 it so we can get this document better in the next revision.
2 But that's the basis that we used, just to add another set of
3 data points to the equation here.

4 DR. VERINK: I don't see any great abundance of people
5 showing hands. I want to express the appreciation of the
6 Board to the speakers, to the audience. I think this has
7 been a splendid presentation and I really thank you all for
8 the special efforts that you've made on behalf of the Board.

9 I guess we're adjourned.

10 (Whereupon, at 5:40 p.m., the meeting was
11 adjourned.)

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1

2