

UNITED STATES
NUCLEAR WASTE TECHNICAL REVIEW BOARD

PANEL ON STRUCTURAL GEOLOGY & GEOENGINEERING

PROBABILISTIC SEISMIC AND VOLCANIC HAZARD ESTIMATION

March 9, 1994
San Francisco, California

BOARD MEMBERS PRESENT

Dr. John E. Cantlon, Chairman, NWTRB
Dr. Clarence R. Allen, Chairman, SG&G Panel
Dr. John J. McKetta, Member
Dr. D. Warner North, Member
Dr. Dennis L. Price, Member

STAFF MEMBERS PRESENT

Dr. William D. Barnard, Executive Director, NWTRB
Dr. Leon Reiter, Senior Professional Staff
Dr. Victor Palciauskas, Senior Professional Staff
Mr. Russell K. McFarland, Senior Professional Staff
Ms. Linda Hiatt, Management Assistant
Ms. Donna M. Stewart, Staff Assistant

ALSO PRESENT

Dr. Keiiti Aki, Consultant, University of Southern California
Dr. Robert Budnitz, Consultant, Future Resources Associates
Dr. C. Allin Cornell, Consultant, Stanford University
Dr. Michael Sheridan, Consultant, State University of New York
Dr. William Melson, Consultant, Smithsonian Institute

I N D E X

	<u>PAGE NO.</u>
Session Introduction	
Dr. Clarence Allen, Session Chair	262
LANL Report on Volcanic Hazard at Yucca Mountain	
Bruce Crowe, LANL	262
Use of Expert Judgment in Yucca Mountain Probabilistic Volcanic Hazard Assessment	
Kevin Coppersmith, LANL	298
Use of Probabilistic Volcanic Hazard Assessment (PVHA) in the Yucca Mountain Program	
Jeanne Nesbit, DOE.	311
Comments by the NRC	
Keith McConnell, NRC.	325
Models of Volcanic Hazard at Yucca Mountain	
Charles Connor.	339
Center for Nuclear Waste Regulatory Analyses	
Comments by the State of Nevada	
Dave Tillson, Agency for Nuclear Projects	365
Alternate Geologic Models: Their Significance With Respect to the Calculation of Volcanic Hazard at Yucca Mountain	
Eugene Smith and C.H. Ho, UNLV.	369
	384
Sensitivity Studies on Volcanic Hazard at Yucca Mountain	
Peter Wallmann, Golder Associates	398
General Comments on PVHA	
Michael Sheridan.	414
State University of New York - Buffalo	
Round-Table Discussion	
Participants.	432
Closing Remarks	
Clarence Allen, NWTRB	481

P R O C E E D I N G S

1

2

8:30 a.m.

3

DR. ALLEN: May we get under way, please?

4

This morning we are going to turn to the volcanic, Probabilistic Volcanic Hazard Assessment. Let me just remind you once again, one of the critical questions that the Board has asked is with respect to Probabilistic Volcanic Hazard Assessment, how valid is the conclusion that estimates of volcanic hazard at Yucca Mountain won't change much in the future? What kinds of discoveries would or could cause them to change? What is the likelihood of these discoveries, and the ability of site characterization to reveal them, and what are the criteria for determining when enough is enough?

14

With that, let me turn to the first speaker this morning, which is Bruce Crowe of Los Alamos, who has been the leading DOE figure in the volcanic analyses, and as part of his one-hour presentation, at the end, he will turn over the microphone for a few minutes to Kevin Coppersmith to explain his role in this developing program.

20

So, Bruce, you're on.

21

DR. CROWE: Thank you.

22

Let me just start by saying I enjoyed the presentations yesterday, and completely agree with the speakers that made the point that there is considerable overlap and similarity in the approaches of seismic hazard

25

1 assessment and volcanic hazard assessment, but let me point
2 out that there are two fundamental differences that I think
3 are important.

4 One of those is, is that we do not have the
5 experience to draw on of siting nuclear facilities and
6 established hazard work that I think is important in
7 establishing precedence of probabilistic hazard assessment;
8 and the second is that volcanism is not an issue that can be
9 mitigated through design. Dave Dobson and I used to joke
10 that perhaps we should draw on submarine technology, and
11 design magma-proof doors on the repository, but, basically,
12 volcanism is a go/no-go issue and, in fact, it's been an
13 important part of our studies from site suitability, as well
14 as looking at the acceptability or non-acceptability of the
15 total system.

16 Now, what I'm going to talk about is basically the
17 strategy that we're using to assess volcanism, and starting
18 in the early parts of our program, we committed to doing a
19 probabilistic study, and in our study plan, we describe the
20 strategy for that study. We've also pointed out that we plan
21 to do--in fact, this is what I'll be talking about mostly
22 today--simulation modeling to look at the sensitivity of the
23 probabilistic approach, and try to define the uncertainty,
24 and then we also made a commitment early in this program to
25 proceeding into expert judgment. In fact, that's what Kevin

1 Coppersmith will be talking about. So, we feel like we're
2 committed to many of the things we've been talking about for
3 the last day or so.

4 Let me start with this view graph, because this is
5 where Frank Perry left off, and let me just remind you that
6 this is a part of the distribution of Pliocene and Quaternary
7 basaltic centers in the Yucca Mountain region, and when I
8 describe the Yucca Mountain region, I'm talking about the
9 area that encompasses all of the distribution area of these
10 particular events, and I think Frank gave you a nice
11 background and update on the status of the studies, and I'll
12 proceed from that foundation to move on into probabilistic
13 risk assessment.

14 And let me point out that I thought that Chris
15 Fridrich gave a very important talk that brought together a
16 lot of information from a variety of fields, talking about
17 this northwest trending zone and how volcanism appears to be
18 structurally-associated with this half graben system that
19 maybe strikes up bounded in Crater Flat.

20 Okay. The basic model that we've used for
21 volcanism is we've looked at it as a conditional probability,
22 where we're looking at three parameters, what we call E1, E2,
23 and E3. E1 refers to the recurrence rate of volcanic events,
24 and we describe it in a variety of ways. In fact, this is
25 fairly important, and I'll describe this more, but we looked

1 at volcanic centers, clusters, intrusions, polycyclic
2 episodes, and cluster episodes, and it becomes important in
3 how you define E1 to be careful to note what event you're
4 actually defining in the probabilistic assessment.

5 E2 is that, given an event, what's the probability
6 that it will intersect a specified area, and here, we're
7 looking at the repository, the controlled area, and also, the
8 waste isolation system, which we just call the Yucca Mountain
9 region.

10 And then, third, E3 is the work that Frank
11 mentioned that Greg Valentine is doing, and it's becoming a
12 focus of our work, particularly moving on into fiscal year
13 1995, where we're looking at the effects of volcanism,
14 looking at both what we call eruptive releases, or what some
15 people call direct releases, and then coupled releases from
16 the effects of intrusions either through the repository or
17 adjacent to the repository where they disturb the waste
18 isolation system.

19 My talk is going to focus entirely on E1 and E2. I
20 should mention that I put in some extra material in your
21 handouts, so you're going to have to kind of scurry to follow
22 me in some places. I figured that would be a good way to
23 keep your attention.

24 What I want to go through first is the logic of how
25 we're doing this work, because I think it's important to

1 understanding how we're applying this probabilistic hazard
2 assessment.

3 The first question we have--we asked a series of
4 questions. The first one is: Is there a risk of future
5 volcanism? And I think there is probably one of the few
6 areas that we agree on, that we're here because there is a
7 risk for the Yucca Mountain site, and we've established that
8 through the EA, SCP, and ESSE.

9 So, given that there is the presence of Quaternary
10 igneous activity in the region, we then progressed down
11 through a series of questions. The first question we asked
12 is: What is the range of possible future events? And, as I
13 mentioned, there are really two categories of them.

14 The one that we are emphasizing, and is what I'm
15 talking about today, is what we call the formation of a new
16 volcanic center, and the reason that's important is there is
17 spatial uncertainty in the location of where that event might
18 be. We can only approximately bound where it might occur.
19 We cannot predict where it would occur, and that leaves a
20 finite possibility that the event could occur through the
21 repository, and potentially disrupt the repository.

22 The other events that we'll be doing in future work
23 is looking at polycyclic events, both in terms of an event at
24 an existing center, and in a cluster expanding off of an
25 existing polycyclic center.

1 Okay, so, given that we've defined the types of
2 events, the next question we asked is: What's the nature of
3 future volcanic activity? And I'm not going to go into a lot
4 of detail here, other than to point out that there are four
5 basic types of eruptions that we see, and perhaps this last
6 box captures what's important. We see mixed dikes. There is
7 a bit of a time trend that the oldest eruptions, the Pliocene
8 eruptions tend to be predominantly Hawaiian, despite
9 Strombolian, and we've seen a bit more of a Strombolian,
10 slightly more gas charge eruptions in the younger sequence of
11 events, the late Quaternary, and that hydrovolcanic activity
12 has occurred, but I want to point out that, first, we think
13 there's a fairly low, percentage-wise, probability of a pure
14 hydrovolcanic event because of the deep groundwater table
15 over 2,000 feet at the Yucca Mountain site.

16 Now, associated with any one of those events, they
17 have to be accompanied by an intrusive event, and this is an
18 area where we've had some longstanding, what I call
19 communication issues with the NRC. And, basically, what we
20 recognize is that, given any volcanic event, it has to be fed
21 by an intrusive system, the dike feeder systems, and we break
22 out three scenarios for that.

23 One is that you can have just a simple eruption,
24 accompanied by just linear dikes, and that seems to be the
25 predominant case, we think, when we look at the geologic

1 record.

2 A second is that, associated with eruption, you can
3 develop some more complex intrusion forms; sills, primarily,
4 and we've pointed out in our papers some examples, like in
5 the Payute Ridge area, where this sort of thing has occurred.
6 It becomes important because it changes the amount of
7 potential interaction with a repository.

8 And the third one that we've had, where we have
9 some disagreements is, is it possible to have an intrusion,
10 which would be an intrusion without eruptions? And we look
11 at both models here, and what I want to carefully point out
12 is what we've been saying is not that intrusions won't occur,
13 but for every case where we see a subsurface intrusion, we
14 also see evidence that it erupted at the surface, and so that
15 really directly deals with this issue of undetectable
16 intrusions. As long as you have a surface eruption, we think
17 that these are pretty easy to recognize in the volcanic
18 record. We have not been able to recognize any site yet
19 where there was an intrusion without an accompanying
20 eruption, but we caveat that with it. We're still conducting
21 site characterization studies.

22 Now, given those two questions, how do we set up
23 our probabilities? And, again, I've already described this a
24 little bit. I just want to point out that in the status
25 report that's coming out, we hope, in the next month or so,

1 we focused entirely on these first three probabilities where
2 lambda is describing the different types of events, and kind
3 of the preliminary conclusions we have here, that fall from
4 simple logic, is that the probability of an intrusion has to
5 be greater than or equal to a volcanic event, since for every
6 volcanic event, there has to be an intrusion; and then,
7 second, the probability of a cluster is less than the
8 probability of events, since there are more volcanic centers
9 than there are clusters.

10 One of our preliminary conclusions that we've
11 presented is that the probability of intrusion appears to be
12 about the same as the probability of a volcanic center
13 forming, and I just mentioned why we established that. We
14 also have argued that we use the 10^{-8} number, recognizing
15 that that number may not hold up with the reexamination of
16 the EPA criteria, but we use it as a basic logic step in our
17 work, where we test whether or not the events are greater or
18 less than 10^{-8} is a way of kind of checking where we are.

19 And what we argue is, all these recurrence rates
20 are greater than 10^{-8} events per year, and here, we've had
21 complete agreement on this with all workers.

22 Okay. Now, given that an event occurs, that you
23 have an event, where does it occur? And here is just some
24 simple background information. We describe what we call the
25 Yucca Mountain region, or what Gene Smith has called the Area

1 of Most Recent Volcanism, and we argue that that area is the
2 likely area that a future event's going to occur. Basically,
3 all events that we're looking at have occurred in, by
4 definition, in this area.

5 And then, second, we recognize a couple of
6 structural zones that are possible here. Chris Fridrich
7 talked about the evidence for the Crater Flat Volcanic Zone,
8 and when we sum the 20 events, basically, greater than 90 per
9 cent of them have occurred within this zone. Only one has
10 occurred out of them, and within this zone, what you see is
11 that there's a tendency for most of the events to occur
12 within alluvial basins, and a lower frequency of occurrence
13 within range fronts and range interiors.

14 The Northeast Trending Zone, that I'm sure Gene
15 Smith will be talking about some, does account for about 75
16 per cent of the events, and then for each of these recurrence
17 and spatial models, we've been looking at both homogeneous
18 and non-homogeneous Poissonian models, where we look at these
19 three areas; the Yucca Mountain region, the controlled area,
20 and the repository. So, this fits into our variable
21 definition of E2.

22 Okay. And then, finally, as I mentioned, we use
23 the criteria of 10^{-8} , and so we set up a conditional
24 probability that, given--E2, given E1, for the specified
25 area, we then test whether or not it's greater or equal to

1 10^{-8} . If it's significantly less than 10^{-8} , and what's
2 significantly less is something that's not clarified, we
3 would cease our studies and pass on the occurrence
4 probability information to performance assessment. If it's
5 less than this, we initiate detailed studies of effects, and
6 our current assessments right now for the Yucca Mountain
7 region, the controlled area, since they're larger areas, the
8 probability is greater than 10^{-8} . The repository sits kind
9 of--straddles the 10^{-8} boundary, and so, we say, probably no,
10 it's a possible maybe, but at this point we're saying we're
11 going to have to carry through those studies to effects as
12 well.

13 Okay. What I want to say right up front, that we
14 recognized in the various early applications for
15 probabilistic assessment is we have a data paradox here; that
16 is, we don't have a lot of events, and, because of that, we
17 make a fundamental assumption that the volcanic record is too
18 limited to do any kind of statistically robust calculations.

19 You can't do tests for statistical significance--
20 or, you can, but it's hard to argue that there is any
21 significance to them, and you can't do goodness of fit
22 modeling to try to look at the record. And so, we just
23 fundamentally assume that you have to look at it through
24 application of risk assessment or probabilistic hazard
25 assessment, where we use the volcanic record to do four

1 projections of probability estimates, and use that record to
2 try to establish the mid-point estimates of our probability
3 distributions.

4 We then use a variety of assumptions to put bounds
5 on both the upper and lower. The upper bounds we gather from
6 the regulatory guidance, and the--I'm sorry, the lower
7 bounds. The upper bounds are used from looking at how
8 volcanic, what's kind of the maximum rates of volcanic
9 activity you get in large fields that have quite a bit more
10 events than the Yucca Mountain region.

11 And then, the essence of what we're trying to do
12 here is use multiple alternative models in a probabilistic
13 sense to look at how it affects the probability
14 distributions, or the CDFs, and the argument that we use is
15 that because we have such a limited amount of data, there's
16 going to be a spectrum of models that can be proposed, and
17 we'll never have enough data to either prove conclusively, or
18 disprove that any model is correct, and so, instead of
19 assessing one model versus another and trying to evolve one
20 model, what we argue is, the important thing is not which
21 model is correct, but what is the effect of the different
22 models in the probability distribution, and that's what I'll
23 be showing you for the latter part of my talk.

24 Then, as I mentioned, the one thing that's really
25 new that I haven't described to the Board before is we've

1 done some work now on risk simulation, where we basically use
2 a Monte Carlo-type simulation to try to generate the
3 probability distributions, and then look at the effects of
4 different assumptions on those probability distributions,
5 and, again, what we do is we look at all alternative models,
6 focusing on the occurrence probability.

7 We plan, when Greg Valentine's work gets more
8 evolved, to add in effects to look at risk and what we try to
9 do is make sure we set up our models so that we don't
10 underestimate risk, but, within that trying not to
11 underestimate, we also ask that the alternative models must
12 be plausible, physically; that is, if you look at the
13 tectonic record and the physical processes of how volcanism
14 operates, you shouldn't use a model that just doesn't make
15 sense.

16 And this is where we bring in judgment, that is one
17 of the reasons why I think expert knowledge is so important
18 to bring into this. There's going to be a spectrum of
19 judgments on what is physically plausible or non-plausible.

20 Okay. We're bringing a slightly new perspective
21 into this volcanism status report that you should have gotten
22 a copy of Chapter 7 on, and the difference is that what we
23 did in all of our previous studies--and I think what most
24 other workers have done--is tried to identify the bounds on
25 volcanism, particularly the maximum bounds to see whether or

1 not it was a disqualifying issue, and we feel we've gone
2 enough beyond that now that what we're trying to do instead
3 is not emphasize the worst cases, but try to take a
4 scientific perspective, and somehow block out all of the
5 value judgments about what it means, and just try to define
6 our distributions as rigorously as possible, concentrating on
7 the mid-point estimates and the maximum mean.

8 So, in other words, we're trying to do, from our
9 perspective as scientists, do as unbiased--if there's such a
10 thing as an unbiased probability distribution, but present
11 those so that the NRC can then look at--not the NRC, the DOE
12 will then make decisions on how to apply those distributions
13 to the assessments.

14 And the reason I want to emphasize this is, what I
15 have seen that's happened, both in my work, and I think in
16 some of the other people's work that we can argue about, is
17 that if you don't try to do unbiased distributions, you have
18 tendency to take conservative assumptions as you go through
19 each step of your models, and you fold in a non-systematic
20 bias that's very difficult to deal with; and, in fact, when
21 you look at published data and do simple statistics, you find
22 that the data are strongly skewed toward maximum values, and
23 I think it's because of this bias.

24 So, what we've tried to do is emphasize the central
25 tendencies of datas, and then draw the distribution about

1 that, and it's really different than anything we've done
2 before.

3 Now, what I want to proceed through fairly quickly
4 is just show you some examples of how we're doing this, and I
5 don't want to belabor the points on all this, but for E1, the
6 recurrence rate, what we're trying to do is look at a
7 multiple range of defining E1 and bounding it, so the first
8 thing we start with is try to do some simple time-series
9 analysis, which has been applied to a lot of historic
10 eruptions, and the big thing we run into is, we just don't
11 have enough events to do anything statistically significant.

12 But what I've just shown here is a simple plot of,
13 for clusters, where I've combined the clusters, showing the
14 ages and the error bars, or recurrent assignments of the
15 ages, of what you see, just summing the events versus time,
16 and what you can--the slope of each line segment is roughly
17 the event rate per year.

18 And, what you see is, there is a tendency toward a
19 slightly steeper slope in the Pliocene, and a somewhat
20 shallower slope in the Quaternary. If we add in clustered
21 events, I think it really doesn't give you much information,
22 but it emphasizes that, in a way, we're somewhat analogous to
23 clustered seismicity, that when we get bursts of volcanic
24 activity, we see multiple events. And, from all of our
25 studies, we have not been able to discriminate, except for

1 the Lathrop Wells, the youngest end, any differences in age
2 by using our method. So, within the uncertainty of our
3 dating methods, these events seem to be synchronous.

4 We think, based on Frank's chemical data, that
5 there may be subtle differences, but we're probably going to
6 never be able to, except for the very youngest end, ever see
7 those differences.

8 The only thing I've been able to pull out of a
9 time-series analysis is just to look at repose rates at
10 repose intervals, and what I've plotted is age versus
11 intervals, and you see, you get pretty dispersed data, and
12 all I've done is two fits, just to show you that there's an
13 infinite range of fits that can be done.

14 The first is a simple linear regression, which has
15 a negative--has a spoke to it, which you would argue could
16 suggest there's been a slight decrease in the repose period,
17 and we think that that may be real. I also fitted it with
18 just a distance weight of these squares, which flexes for
19 each data points, and you end with intersecting the Y axis at
20 almost zero, which suggests that, today, we have a zero
21 repose interval, which is probably pretty difficult.

22 The only thing we're deriving out of this is you
23 take the mean repose period, it's about a million years, plus
24 or minus 600,000 years. It doesn't tell you much. What we
25 have done is only looked at the shortest interval, so in the

1 last 4.8 million years, there's never been a repose period
2 shorter than 200,000 years, so we just take that as one end
3 point.

4 But, let me also point out, within the limitations
5 of our data, that shortest repose period also happens in the
6 repose period between the two youngest events, and so, again,
7 we kind of fall up against these difficulties with the
8 completeness of the data.

9 What I've also done--and I don't want to go through
10 all the details here and bore you with the tables, but
11 they're in your handouts--is we've looked at homogeneous,
12 basically, event counts, and non-homogeneous event counts,
13 and what I mostly just want to show you is we've put together
14 a matrix of most likely, maximum, minimum events, and
15 probably the most important thing to emphasize out of here is
16 we used four different models for doing these calculations.

17 Two really come out of the regulations, where the
18 NRC specifies looking at the Quaternary events, which they
19 define as two million years. We also used 1.6 million years,
20 and then we do two other models, which I call our preferred
21 models, because we tie these to the geologic record, where we
22 recognize the cycle in volcanic activity, and then do our
23 calculations for those, and this basically represents the
24 last 4.8 million years, and then this is the last million
25 years, where we recognize a period where there might be a

1 slight increase in rates, or the frequency of events goes up
2 slightly while the volume is declining, and we do these
3 calculations.

4 Now, an important thing in the simple homogeneous
5 models, what we see is, when we use all the four models, we
6 tend to get slightly lower values, and the reason is that
7 somewhere you cross intervals of time where there were no
8 volcanic events. If we just used the Quaternary, from two
9 million to one million, there were no events, and then all
10 the events are in the last million. So, we think it
11 underestimates, a bit, the probability.

12 So, what I do is also show the statistics for the
13 preferred models, which are just these two models here, and
14 your numbers range from about 2.3 to 5, or the worst case,
15 actually, is around somewhere--if I can find it around here--
16 somewhere around 8, here it is, and then the low is 8×10^{-6}
17 versus 1.5×10^{-6} , again, trying to emphasize the ranges.

18 We also did non-homogeneous models, concentrating
19 on the work that Dr. Ho has done for the State of Nevada,
20 where he's proposed a Weibull model, and one of the key
21 issues with the Weibull model is you have two fitting
22 parameters. One of them is the beta factor, and what becomes
23 important is to test whether or not your beta factor is
24 greater than or equal to one. If it's equal to one, you're
25 basically equivalent to an exponential or a Poissonian

1 assumption. If it's greater than one, you can argue that you
2 have waxing volcanism.

3 And here, a second point emerges that's really
4 important. If you do the Weibull calculations for specified
5 intervals, where it sums across periods of no activities, you
6 get beta factors consistently greater than one. If you do it
7 for where you tie the interval of observation to the geologic
8 record, the preferred models, all of our beta factors are
9 less than or equal to one, and so, I would argue that
10 preferred models are consistent with a waning system, and are
11 probably more appropriate.

12 And what you see is, when you sum the statistics of
13 them, you see that same--the opposite reversal for the non-
14 homogeneous, or for the homogeneous, that, basically, all
15 models give you slightly higher values, and then because the
16 beta factors for the preferred models are less than one, you
17 get lower values. And, again, what's important here is just
18 the ranges of the calculations.

19 And then, finally, we've also play a bit with using
20 simple regression models, treating volume as the dependent
21 variable, and age as the independent variable, and we
22 established in some earlier calculations that we had a linear
23 fit between the models, but what's been new is we've added
24 some new points along here, and so, we did some new
25 calculations to kind of look at what's the effect of those,

1 and it basically kind of blows up your regression models to
2 where they don't give you very satisfactory fits. In fact,
3 the residuals have a lot of structure to them, which suggests
4 that your regression assumptions are not valid.

5 What I've shown here is just a simple regression
6 fit, and then I did a distance weight of these squares, which
7 suggests that you might have a curval linear relationship,
8 and to test that--

9 DR. REITER: Bruce, could you just explain what that
10 plot shows?

11 DR. CROWE: Oh, okay; sorry.

12 What I'm plotting on here is the volume of events,
13 so each point is a volcanic event and its associated volume,
14 and what you see is, there's a dramatic decline in volume
15 through time, versus the age of the events, and then fitting
16 it with different fitting models.

17 I also took that same data and log transformed it
18 to see whether or not we could use a model of intrinsic
19 linearity, and, actually, it does really nicely until we come
20 down to this data point right here, and what I ended up in
21 some of the status report is, I came up with seven regression
22 models, and only two of them gave you residuals that would be
23 generally accepted, and I used those two to try to generate
24 the slope, which is the magma output rate per year.

25 And using that, I then try to do some calculations,

1 and I don't want to go through all this table. It's in your
2 handouts, but what I just looked at is, how can you then use
3 that output rate, assuming that there's a representative
4 volume of an event, to constrain the recurrence rate, and
5 because there's been this 30-fold decrease in the volume, if
6 you sum these through any kind of averaging, you end up with
7 very, very long recurrence times, in excess of a million
8 years for events extending for both the two preferred models.

9 And so, what I've done for the only calculations,
10 is assumed a median value for the smallest events that we
11 recognize, and here we get rates that are not too different,
12 actually, from the homogeneous and non-homogeneous. You tend
13 to get values in the 3 to 5×10^{-6} rate.

14 Well, what does all this mean? And this is what
15 I've been working on probably the most in the last year, is,
16 again, we are not really concerned with any one value, but
17 what all of this suite of values tell us, and so what I plot
18 here is basically what I call the distribution of E1 and
19 probability space, and what I've summed on here is all of the
20 different calculations that I just got done showing you, as
21 well as including work by the State of Nevada, and work that
22 Connor & Hill published recently, that shows you the
23 distribution.

24 And, actually, what I'm impressed by is our
25 distributions are not that dissimilar, and I'll show you in a

1 second how I used simulation modeling to show you them, and
2 then we explore the boundaries of the distribution to data.
3 On the one end, we have the regulatory perspective that
4 basically says that volcanism would not be an issue if there
5 are no events in the Quaternary, so I turn that into a
6 probability of 5×10^{-7} for this upper bound, and at the
7 lower bound--I'm sorry. That would be the lower bound, and
8 then the upper bound of rates, I turn to volcanic fields, and
9 calculate using simple homogeneous models, what those events
10 would be, and then argue that somewhere in this distribution
11 space, between here and here, our values have to apply.

12 And just looking at this data, I think it kind of
13 cries out for a simple triangular-type fit that kind of tells
14 you about the data. You know roughly where your bounds are
15 and you have some mid-point estimates, and I use a special
16 type of triangular model that's called a Trigen model, where
17 with most triangular models you have to use zero points for
18 your boundaries, and the Trigen allows you to assign
19 different percentiles to your upper and lower bounds, and
20 then what I did to explore the sensitivity of this is I just
21 set up a simulation matrix, and, again, I hate to present
22 complicated tables like this, but let me just point out a
23 couple of things here.

24 This is the matrix that I put together for the
25 simulations, and the across the row variation represents

1 different assumptions of models, both a normal model, where I
2 just used one sigma, just to look at one sigma, and then
3 these are the variations of the triangular, the Trigen model
4 that I used. So, the variations that you see across here
5 represent simulation assumptions, and then each vertical
6 column represents differences in the types of models that you
7 can use to do the calculations.

8 If you then run simulations to generate your
9 distribution curves, here's what they end up looking like,
10 and I think one of the things I've been impressed from,
11 particularly talking to Kevin Coppersmith and looking at some
12 of the seismic issues is, for E1, we end up with a real tight
13 clustering of events. I mean, I've always been impressed
14 when I show seismologists, because we've been arguing about
15 the significance of these for about the last five years, and
16 yet, seismologists go, "Wow, that is tight data."

17 And, what I've shown on here is the min and
18 maximum, and then I've also showed Dr. Ho's calculation. We
19 have a little bit of disagreement with Dr. Ho, but primarily
20 because the shape of his curve is very similar, but I feel
21 that what he did is applied his calculations to a worst case,
22 and then set up confidence intervals about that worst case,
23 but our approaches are very similar, and I don't want to say
24 that we're different, we're just different in where you would
25 center your distribution.

1 I feel that his tends to be a little bit more
2 skewed than we would argue, but I also would point out that
3 we're not going to get that upset. If you look at the range
4 of expected values in here, we think that we could just look
5 at this whole range without much sensitivity.

6 And in order to look at this, what I've actually
7 done is used a method of looking at uncertainty bands about
8 your distribution, so on the Y axis here is the E1 values.
9 The blue line represents the median of values, the 50
10 percentile, the upper red is the 90 percentile, and the lower
11 red is the 10 percentile, and what I was looking at in this
12 particular calculation is just if the variability of
13 uncertainty depended on the different distribution models
14 that I used.

15 And what you see is, depending on how tight or
16 broad I make those distributions, the uncertainty expands,
17 and this last one over here is, because I only used one
18 sigma, you have a smaller uncertainty about the normal
19 distribution model.

20 And then, this is for the homogeneous. I'll just
21 quickly show you, I also did it for the non-homogeneous, and
22 we end up with very, very similar results. The only
23 difference is, because the beta factors for the preferred
24 models are less than one, you tighten up your distribution
25 down here on the normal distribution.

1 I'm kind of scurrying through this. Let me just
2 show this one quickly. How am I doing on time?

3 DR. ALLEN: You've been talking for a little less than
4 half an hour.

5 DR. CROWE: Okay, great. That's about right.

6 What I've done for this one now is, this is showing
7 the uncertainty in the vertical column variation, so you're
8 looking at the uncertainty created by differing modeling
9 assumptions, and what I'm impressed by is just the bands are
10 about the same in this modeling, and the only difference we
11 have is this is Dr. Ho's model, which has about the same
12 uncertainty, but it's skewed a little bit toward higher
13 values, so you see a slight change in the median value here.
14 But, basically, the uncertainty is not that different with
15 differing modeling assumptions.

16 Okay, and then, quickly, I wanted to say a little
17 bit about E2 now. What I've done with E2 is used the same
18 approach; again, not try to emphasize what anyone model is,
19 but what are the ranges of results that you can get from
20 multiple models, and, here again, we have some areas of
21 controversy.

22 What I've plotted here is just the distribution of
23 volcanic events in Mercator-projected coordinates, and we've
24 had some arguments about whether or not this is a homogeneous
25 or a non-homogeneous distribution. I argue that if you look

1 at this, and visually, in two dimensions, you can see
2 patterns very nicely, I don't think anybody--it doesn't take
3 a statistical wizard to say that this is a non-homogeneous
4 distribution, and we would agree with that.

5 Now, what we've done in our models, in our spatial
6 and structural models, what we have done is, perhaps
7 incorrectly, we called them random models, but what we did is
8 we used different combinations of the spatial distributions
9 of events, and so, we actually had structural control, we
10 think, in the way we did these distributions, but within the
11 area defined by the distributions, we assumed that events
12 were random enough so that we could do calculations to come
13 up with the results.

14 So, the only caveat I add is that we never have
15 said that this is a homogeneous distribution, and I would not
16 want to try to defend that, just looking at this
17 distribution. And just to show you, we've used--what we did
18 is, we've looked at all the published, we've looked at
19 spatial models and structurally-controlled models, and I just
20 want to show you one example of how we project these into
21 disruption ratios.

22 What we do is, here I've just done some visual
23 clustering. Since we only have two dimensions, I didn't
24 bother going to formal multi-varied cluster analysis. I just
25 visually clustered these based on all the geologic

1 information that we had, and I went through iterations of,
2 here's the first simple cluster, the second joins adjacent
3 clusters, and the third joins--it goes to a third iteration.
4 You end up with a Crater Flat Volcanic Zone, the Northeast
5 Trending Structural Zone, and one that nobody's yet named
6 here, and, obviously, it's not related to the repository,
7 which is just an East/West Trending Zone.

8 And then, what I do with those models is just the
9 same sort of thing that I did with E1. I look at a range of
10 the different calculations in this table, and I try to look
11 at all the variation. Now, what we end up with this data set
12 is it's strongly skewed. You tend to always get values
13 skewed as greater than one, approaching two or three in some
14 cases, and the reason is that there are some models that have
15 high disruption ratios.

16 And, again, I don't want to make you go through all
17 this stuff, but let me just point out that the model that
18 we've emphasized is what I call the intersection model. For
19 Model 2 and 3, we weighted them for the percentages of
20 occurrence of volcanic events and ranges versus alluvial
21 basins, and whether or not DOE chooses to use that is really
22 their option.

23 Let me quickly point out that one of the things
24 where I think volcanism differs a little bit from seismicity,
25 is we really have some spatial problems in the

1 predictability, and you have to guard yourself against
2 assuming some predictability that's not in the data set, and
3 I want to show this by just showing you how events have
4 jumped around.

5 Again, this is a lat-longitude plot of the events,
6 and these bars represent the maximum cluster lengths that
7 we've observed, and I've drawn them parallel to what I think
8 are the controlling vent alignments that we see at each
9 center.

10 And what you see if you step through time is where
11 there is a pattern of concentration in this northwest
12 trending zone, the position of sequential events jumps quite
13 unpredictably, both in their locations and their jump
14 directions. So, the first event starts up at 4.7 here, the
15 next event jumps way down to here. The next one is in Crater
16 Flat here, next one jumps out to here, then to here, then
17 back out up to Sleeping Butte, and then back down to Lathrop
18 Wells.

19 And so, one of the cautions that I have used in the
20 models, and I urge other people to use, is that you have to
21 be careful that you don't do some simple distribution models,
22 assuming that there is more predictability in the path
23 distribution than is really represented in the record.

24 And, I'm just going to quickly show just this
25 matrix. All I've done is taken structural models, and in

1 your handout, I went through a table of 13 structural models
2 that I used to generate these, and I have 17 cases of
3 application of them. I don't have the time to go through all
4 of those, but, again, what I tried to emphasize is structural
5 model approach is to look at different tectonic framework
6 models, and then to look at how that would affect the
7 distribution, and then I expand those models so they don't
8 include intersection, to be consistent with how I did the
9 spatial models.

10 Now, the only thing I want to point out here is we
11 do have one set of models which are all down at the bottom
12 here, which does include the repository. All the other
13 models, when you just use their structural areas, do not
14 include the repository. You have to expand them, using some
15 assumptions for expansion, in order to get the probabilities,
16 and when you just take the subset of these models--this is
17 what I call the northeast trending models, they tend to give
18 you lower values than the average of all the others, and what
19 I point out is I think that the northeast trending models are
20 really not sensitive to the probability distribution.

21 Then one last thing that I do is I make analog
22 comparisons to other volcanic fields, and here, what I'm
23 looking at is kind of testing the model of we only have--this
24 is the Lunar Crater field, with each little star being an
25 event that we noted for Quaternary--these are all the

1 Quaternary events in the Lunar Crater volcanic field.

2 There's roughly 82 events, and, actually, the details of
3 event distribution isn't important, but what I did is some
4 simple spatial fitting to look at the dimensions.

5 And the analog here is that, say we had a busy
6 volcanic field with a lot of events, what kind of dispersion,
7 what are its length/width ratios, and how would that compare
8 if we superimpose that on Yucca Mountain? So what I did is
9 calculated the centroid of the distribution, and then I
10 calculated using a bivaried Gaussian ellipsoid, the 90
11 percentile and the 95 percentile, and I just used these to
12 measure the half-lengths across the field, and the length
13 dimensions, and then I've done this for a variety of fields,
14 and then superimposed it on the Yucca Mountain region, and,
15 again, this will be controversial because I assumed that the
16 northwest trending model was the most proper way to put this,
17 and we can have lots of discussion about that if we'd like.

18 But, the point is, that if you put this--I located
19 it in the center of the centroid of the distribution of
20 Pliocene events, dropping out Buckboard Mesa, which I don't
21 think belongs in here, and what you see is that the
22 dispersion in Lunar Crater is not that dissimilar from the
23 dispersion we see in the Yucca Mountain region. The half-
24 width is only slightly longer than the maximum cluster length
25 here, and if you put--if you plot Lunar Crater down into

1 Yucca Mountain, you would not, naturally, intersect the
2 repository.

3 Now, that doesn't mean that all volcanic centers
4 are that way. What I've used is the two most--closest
5 analogs to Yucca Mountain. If you go to like the San
6 Francisco Peaks field or some of the platform-type fields,
7 you get a lot more dispersion, and I've superimposed those,
8 and those would represent intersection. And so, again,
9 there's judgment in deciding what analogs are appropriate.

10 Okay. What I end up here is the same thing that I
11 did with E1, where I just look in probability space at the
12 distribution of events, and it's a very busy diagram. I
13 don't want to belabor you with all the points, but most of
14 the values do tend to cluster in the 3 to 5×10^{-3} range, but
15 you do get some numbers that sit way out here, and what I've
16 shown is, this would be the ratio if you just randomly
17 located a repository within Lunar or Cima Volcanic Field.
18 This would be the ratio you'd get.

19 I just did statistical analysis using exploratory
20 data techniques to look at what would be identified as
21 outliers, and this vertical green line identifies models
22 that--this would be a standard outlier division, so anything
23 across this way. I use this primarily because it gives you
24 kind of a non-biased way to look at these models.

25 What I would argue is, anything, certainly,

1 exceeding the Lunar and Cima, or approaching these, are
2 probably skewed models that may not be physically plausible.
3 Again, and then what I used was simulation modeling of E2 to
4 look at the sensitivity of these, and what we get is a bit
5 more dispersed curves with E2.

6 This represents the sum of all the spatial models.
7 The red line is all the published calculations. The blue
8 line is the summation of all the structural models. This is
9 the northeast trending models that I pointed out, and then if
10 you edit outliers out of the spatial and the published, they
11 plot within this more vertical; again, much less variance by
12 taking out outliers. The issue is whether or not that's a
13 valid way to look at the data.

14 And then, again, I also look at that in terms of
15 the uncertainty variation about E2, and what you see is if
16 you just take the raw data sets, you have pretty large
17 uncertainty bands. If you edit them or make judgments about
18 the suitability, you narrow those bands, but, again, this
19 requires judgment. It's one of the reasons why I think we're
20 going to have to go to expert opinion to try to get as
21 unbiased view of that as possible.

22 Okay. Now, quickly, what does all this mean? What
23 I then next did is, using the probability model, looked at
24 the conditional probability of both E1 and E2 occurring, and
25 ran simulation modeling, and what I did is ran three sets.

1 What I first did is set up a matrix of E1 values,
2 and then I fixed E2, and then ran simulations to look at the
3 curves, and I was actually a little bit surprised by this.
4 The median values, the 50 percentile, come out pretty tightly
5 around 2 to about 3×10^{-8} , and there just is not much
6 variation. I plotted the min-max. All the rest of those
7 curves would sit right in the middle here, and so what I
8 would argue is there just is not a lot of sensitivity of the
9 recurrence rate models for our calculations.

10 I repeated the same process, but, instead, fixed E1
11 at a median value of about 5×10^{-6} , and then ran results for
12 variable E2s, and what you see is for a lot of the models,
13 particularly if I edit the outliers out, they sit in about
14 the same position. Again, the values are not that different.
15 They're about 2 to 3×10^{-8} , but you do get some high values
16 with an expected value as high as 7.3×10^{-8} when you look at
17 all the potential cluster models.

18 So, what I then did is used this distribution,
19 began looking at what combinations generated these high
20 values, and when I did that, what I found was two things:
21 One is that a number of these models may not be structurally
22 correct. I mean, you're really pushing them to get
23 intersection; and second is that it made me recognize that
24 there is a bit of interdependency of E1 and E2 that you have
25 to look at, and developed one last matrix.

1 And what I've done here is, if you take different
2 assumptions about a spatial model, they may or may not
3 include all the volcanic events, and so, if you just look at
4 E1 and E2 independently, you can come up with combinations
5 that are not physically real, and so, what I did is, I went
6 back to my matrices and I said, "Okay, for each model of E1
7 that we propose, let's take a look at what its effects--",
8 I'm sorry, "--each model of E2, the distribution models, what
9 are the effects on E1?"

10 And, you end up dropping out a number of models
11 that, because they exclude a lot of events, have a low E1,
12 and I was able--and I ended up only being able to identify
13 two models, which are variations of the spatial cluster
14 models, that give you values that are greater than the
15 typical values of the kind of the median points, and you get
16 numbers of 7.5 and 4×10^{-8} for those.

17 And, what I've done is just flagged these as
18 sensitive models that I think the logical thing is, perhaps,
19 to focus our site characterization studies to look at the
20 feasibility, and begin to test those models as being the most
21 sensitive parts of your distribution.

22 Okay. I have two last view graphs to kind of sum
23 up what we've done. I think what we've learned from the
24 probability estimates, and particularly, the simulation
25 modeling, is that we have surprisingly well-constrained

1 recurrence models, and they just are not that sensitive,
2 particularly to variations in your mid-point estimates, and
3 what's more important is the shape of your boundaries really
4 affect how it pulls that distribution in the simulation
5 modeling much more than the mid-point.

6 And then, second, I'd just like to make a point
7 here that Jeanne Nesbit will expand upon, that we have been
8 looking at this 10^{-8} criteria for kind of sensitivity, and
9 the 10^{-8} criteria was originally written, was that if you can
10 show that the occurrence probability is less than 10^{-8} , you
11 may not have to proceed to PA, or performance assessment, to
12 investigate this.

13 What we've never looked at is what is our upward
14 sensitivity? And so, what I just showed here is some of the
15 things that could change would be, let's say we have
16 undetected intrusions or centers. If we just say, how much
17 would it take to move from our median values to, say, 10^{-7} ,
18 and we don't even know if 10^{-7} is a sensitive area, you'd
19 need like a factor of two or three, and that would have to
20 mean that, for the record, that we have as many as 14 to 21
21 undetected intrusions and, you know, I'm kind of anxious to
22 see what the NRC would say to that.

23 My argument would be that that would be very
24 unlikely, but we may debate that for a long time, and that's
25 another reason why I want to go to expert opinion.

1 And then, additionally, on the structural models,
2 we were able to identify a couple of small number of
3 structural models that are sensitive to the distributions,
4 and what we've planned to do now is particularly use
5 geophysics and field studies to focus on those models, just
6 to test how important they are, how real they are, et cetera.

7 And I do want to point out that, like in the dike
8 propagation models that we use, if some of the models that
9 have been used with very long dike lengths are true, we
10 probably should be having dikes already in the exploration
11 block, and it's going to be interesting to see, with the
12 tunnel-boring system going, whether we'll actually see any of
13 those. It'll be, actually, one test of kind of the extreme
14 end of the models.

15 And then, finally, the northeast trending models
16 are not sensitive. They just do not drive your distributions
17 in either direction. They tend to be centered right around
18 the median values.

19 What we do need is that we're going to have to use
20 judgment in assessing these high probability disruption
21 ratios, these disruption ratios that give you the higher
22 probabilities, and then, the next step is that, clearly, from
23 where we've gone, the effects become very important, and this
24 is going to be the emphasis of our future program.

25 The fourth, or the five things, actually, again,

1 that I've kind of touched on through my whole presentation
2 is, as Frank Perry pointed out yesterday, our next step is to
3 begin exploring the sensitivity of probability calculations
4 for the polycyclic model, and here, the polycyclic model uses
5 a spatial predictability that we didn't think we had. What
6 it says is that the most likely event is likely to be another
7 event at the existing volcanos, which are 20 and 47
8 kilometers away, and we would argue that these may have
9 fairly high E1s, but they're going to have very low E2s, and
10 probably extremely low E3s, and this is something that Greg
11 Valentine is looking at right now.

12 He's trying to define what we call a standoff
13 distance, how far away do we have to be from the repository
14 before the effects virtually go to zero. And then,
15 additionally, we're going to be focusing on geophysics
16 studies. George Thompson from Stanford University is helping
17 us kind of do an overview of the presence of magma bodies,
18 undetected features, and this could be the one area that we
19 might see some variations in our calculations.

20 And then, third, an important thing is that from
21 Frank's geochemistry perspective, we want to look at
22 different models of how these volcanic fields evolve, and,
23 again, look at a spectrum of models to see how they would
24 affect your probability estimates.

25 And then, finally, what we plan to do from here is

1 we've established a probability framework through simulation,
2 and what I think we can do nicely now is begin to get new
3 data and new different models. We can just begin to plug
4 those into these matrices, and look at our sensitivity, where
5 we define the sensitivity as the effect on the distributions.

6 And the last one underscored is kind of a lead-in
7 for Kevin. Where are you, Kevin? Oh, out there. We
8 basically feel that this is an important area to go into and,
9 in fact, I feel so importantly that I'm giving up part of my
10 presentation time for Kevin, and I also gave part of my
11 volcanism budget this year to PA, so that they could give
12 Kevin some seed money, so that's the depth of my commitment.

13 DR. ALLEN: I think we'll go on with Kevin before we
14 take questions on this, since it's all part of the same
15 presentation.

16 DR. COPPERSMITH: That's pretty impressive. You wore
17 out an Energizer.

18 (Laughter.)

19 DR. COPPERSMITH: I'm out of breath, and I haven't
20 started yet.

21 What I'm going to talk about, very briefly, is a
22 project that is just beginning to look at the Probabilistic
23 Volcanic Hazard Assessment. Obviously, Bruce and his
24 colleagues have made a lot of progress after the last several
25 years in field data collection, the quantification of their

1 information, their dates, their spatial distributions,
2 basically, where the different units are, and now they're
3 getting into the types of work that Bruce has been showing,
4 and have been, actually, for several years, looking at many
5 of the elements of probabilistic modeling of volcanic hazard
6 assessment.

7 In that process, they've identified particular
8 areas where there is a diversity of judgment about particular
9 interpretations that could be made, whether or not it's the
10 structural models, information on E1 related to rates, and so
11 on, and what we're doing now, as a follow-on to that, is to
12 develop a program to actually formally incorporate that
13 diversity of expert judgment about these particular areas.

14 I do want to point out that in terms of the
15 sponsorship of the study, a real champion in the system is
16 Jean Younker, who's not here, I don't think, TRW, who is
17 really very much committed to carrying out this type of
18 study, and to the application of similar types of studies in
19 other areas for performance assessment.

20 In terms of an overview of the project, the status
21 is, it's just beginning. I hear that the contract's in the
22 mail. The first task, obviously, will be the development of
23 a program plan and a peer review plan, which are very
24 important to the project overall, and we talked a little bit
25 yesterday, and there may be some more discussion in the round

1 table today of this concept of the use of peer review, and I
2 think, to me, this is something that's vitally important, is
3 an understanding of how expert judgment can be used in the
4 context of the peer review program and procedures that exist
5 within the program, and I think they can.

6 The twofold purpose of the study is, obviously, to
7 quantify the probability of occurrence, as well as the
8 disruption probabilities. This is E1 and E2 that Bruce
9 talked about, and to quantify the uncertainties associated
10 with these assessments, including the diversity of
11 interpretations that might exist among multiple experts.

12 The exact procedure for doing that, particularly
13 Item 2, is to be determined. We're just beginning. I think
14 that the role of a technical facilitator or integrator will
15 be defined. This is very important in terms of how
16 assessments are actually done. We'll go through a process
17 that does involve selection of experts, the elicitation and
18 aggregation and documentation of procedures as well, and I'll
19 talk a bit more about those in just a second.

20 But, what do we draw on? Where are the precedents?
21 We talked about some of these studies yesterday, and they're
22 well-known to many of the people in the room. From my
23 standpoint, these types of studies--and there are others, as
24 well--are the sort of experience database that we would begin
25 with to develop an appropriate methodology for this type of

1 assessment, and I want to point out a couple of these; some
2 that I think are particularly pertinent.

3 One is the top one, is a recent study that was done
4 by EPRI on the earthquakes and tectonics. You'll notice that
5 these, almost in every case, deal primarily with seismic
6 issues. Earthquake hazard assessment has been a ground
7 breaker in many ways in dealing with some of these things, no
8 pun intended. It's non-coseismic displacement.

9 This particular project was one that was done as a
10 demonstration of ways of quantifying uncertainty about the
11 earthquake hazard, fault displacement hazard at Yucca
12 Mountain. It involved a formal elicitation of seven experts.
13 Workshops were held, and so on; again, a demonstration to
14 show that not only this type of diversity of judgment could
15 be incorporated, but, also, that a wide variety of experts
16 could be brought together and could interact, and judgments
17 could be developed in a very cooperative manner, and it was
18 very successful from that point of view.

19 Also, the EPRI performance assessment project,
20 which this is actually the master project--this is a sub-
21 component of that--performance assessment methodology was
22 developed, earthquake being one element of that; volcanic
23 hazard, Mike Sheridan was involved in that component as well.

24 A recent study that has been done by the Center, I
25 think, is very appropriate in terms of the use of expert

1 judgment. I think in some ways is, again, a demonstration
2 project for how expert judgments can be incorporated, in this
3 case, into an assessment of the likelihood of future climate
4 change.

5 And actually, this project, which has been known
6 now and formerly as the SSHAC Project, S-S-H-A-C, the Senior
7 Seismic Hazard Analysis Committee, which is a jointly-funded
8 program to basically develop a seismic hazard methodology
9 that these particular agencies can feel comfortable with over
10 the next decade or so.

11 These issues of expert judgment elicitation are
12 being dealt with head-on. For example, I just wrote a white
13 paper that the committee will discuss in a couple of weeks
14 about the relative value of the use of expert judgment formal
15 elicitation versus a process of a single team developing a
16 particular assessment that's subject to intensive peer review
17 or participatory peer review. What is the difference in
18 those? When would you use one, and when would you use the
19 other? What's the relative value? So, this project is
20 focused very much on these issues. Bob Budnitz is the chair
21 of that project.

22 Other studies that we were aware of that have been
23 done in the eastern United States, formal elicitation of
24 experts in a variety of ways, either in writing or through
25 interviews, are all appropriate and pertinent to this

1 particular study; same thing in terms of the EPRI studies.
2 Also, recent studies that are being done for WIPP by Sandia
3 are important experience databases to draw on.

4 I want to jump up onto a soap box, since Bruce gave
5 me a little bit of time, and talk about--

6 DR. ALLEN: You've got three minutes left.

7 DR. COPPERSMITH: Great--about some of the subjects that
8 people ask questions about. These are actually commonly-
9 asked questions about expert judgment, period, but in the
10 context of the Probabilistic Volcanic Hazard Assessment, they
11 are again being asked, and I would offer, for example, this
12 definition of what expert judgment is.

13 It's the analysis of data by knowledgeable
14 individuals to make interpretations about the future. This
15 means, then, that there's a couple of key components that has
16 to do with the analysis of data. It's not data itself. It
17 also means that knowledgeable individuals do this. That's
18 why they're called experts, and they are used to make these
19 future assessments of what we might expect to happen in the
20 future.

21 Why do you use expert judgment, then? Primarily,
22 because we do not get a unique--geologic data or earth
23 sciences data by themselves do not provide a unique
24 assessment that is needed for this assessment or prediction
25 about the likelihood of future events. No matter how good

1 our data are, models are needed to put those data together,
2 to analyze them, and to make those future assessments.

3 So, when do we use expert judgment? Obviously, in
4 a strict sense, it's used everywhere. It's used throughout
5 this process. Even if it's one person doing a hazard
6 analysis, it's used everywhere, but I think from the
7 standpoint of what we're really getting at here is some key
8 issues, like when do we need to use multiple experts? Do we
9 use expert judgment to avoid data collection?

10 This particular one, I think, is, to me, is always
11 very troubling, that that misconception is made, that experts
12 are being brought in in lieu of a data collection program.
13 You saw Paul Pomeroy's slide yesterday that shows a sliding
14 scale that goes from something that's purely expert judgment,
15 without any data, or not much, over to a case where it's very
16 data-driven, and I would say even in that case--and Paul
17 would probably agree--on a very data-intensive effort,
18 experts are still needed to make an assessment of that.

19 There is no attempt, throughout the volcanic hazard
20 assessment, certainly, and seismic as well, to use expert
21 judgment as a way of getting around data collection, but from
22 the standpoint of even a very data-intensive program like
23 Yucca Mountain, experts are still needed to make the
24 analysis.

25 Why do you use multiple experts? Basically, I

1 think it's the fact that you can have different
2 interpretations of the same sets of data, different models,
3 different conclusions.

4 DR. ALLEN: Could you draw it to a close, Kevin?

5 DR. COPPERSMITH: Yes. Let me just finish here a couple
6 of other key areas. I think they're important to this.

7 The issue of the use of other experts from outside
8 of the project, I think it is likely that other
9 interpretations that we know right now those interpretations
10 exist. They exist within the peer reviewed literature. It's
11 important that those other judgments be used and looked at,
12 and actually incorporated into the analysis.

13 Precedents for this type of approach come largely
14 from earth sciences, from the seismic hazard field, and we
15 can draw on those, and in terms of what's the best way, I
16 think that is still being decided. There are a number of
17 alternative mechanisms.

18 And, finally, on the last view graph, the
19 procedures that we'll follow are the standard procedures for
20 developing any formal expert judgment elicitation, and step
21 through the selection of the experts on through the different
22 components and elicitations and feedbacks.

23 Okay, thanks.

24 DR. ALLEN: Okay. Thank you, Kevin; thank you, Bruce.

25 We have time now for questions from the Board or

1 the consultants to either or both of these speakers.

2 Yeah, Mike Sheridan.

3 DR. SHERIDAN: I'd just like to make a comment that I've
4 been attending these sorts of hearings for some period of
5 time now, four or five years, and that it appears to me that
6 this is a major step forward that we've just seen presented
7 that will be very helpful in the resolution of this problem,
8 and I hope that there will be a publication coming forth to
9 document this data so that it is open to the general
10 scientific community.

11 DR. CROWE: I just want to say, I hope so, too.

12 DR. ALLEN: That's Bruce Crowe speaking.

13 Warner North.

14 DR. NORTH: First of all, I'd like to comment that the
15 contrast between these presentations and yesterday's, as far
16 as I'm concerned, is night and day. It does look like a
17 major step forward, and it's very encouraging. You're
18 clearly very well-organized in terms of having put together
19 the data that exists and thinking about how you were going to
20 do the expert elicitation part to further clarify
21 interpretation.

22 I would note there are other areas outside of earth
23 sciences where this kind of thing either has been done, or is
24 being done at the current time. I would commend to you the
25 efforts of Carnegie-Mellon on global climate change, and the

1 efforts for EPA done out of Argonne Laboratory, in part, on
2 health effects of ambient lead and ambient ozone.

3 I think one of the messages that came out of those
4 exercises is the importance of having a protocol both for how
5 you are going to do the expert elicitation, and for how you
6 are going to deal with the documentation questions that you
7 develop at the beginning of the process, rather than at the
8 end of the process.

9 What EPA found useful was to do, essentially, a
10 pilot version, and de-bug the methodology for the expert
11 elicitation on a small group of people before going out to a
12 large community of experts and trying to do it, shall we say,
13 in an operational phase. So, those ideas may have some merit
14 in this situation as well.

15 DR. ALLEN: Staff?

16 DR. CORNELL: I just had a comment, and it sort of
17 supports what Warner was saying. I have not seen the volcano
18 work before, and I would also like to point out that it is
19 exactly the kind of thing we were talking about yesterday.
20 It's really a good exercise in working backwards from the
21 probabilistic models as to what the implications are as to
22 the physics and the structural characteristics, what
23 additional studies you could do to perhaps reject hypotheses
24 that are leading to probabilities at one end or the other, to
25 help focus the research. I like it very much. Good job.

1 DR. REITER: Leon Reiter.

2 It's a question for Bruce, and I guess for Allin,
3 and that is a question about it seems to me that you're
4 relying upon the mid-point as the most robust indicator of
5 your estimate, and in the past, we've had lots of concerns
6 about mid-point and what kind of mid-point should be used,
7 the median or the mean of distribution, and I wonder if
8 somebody, you or Allin, could address that, or maybe both of
9 you?

10 DR. CORNELL: Is this the old mean versus median
11 controversy?

12 DR. REITER: Right, sort of. In other words, I guess I
13 was looking at what Bruce presented, and he was very happy
14 with the robustness of the central estimate, and then at some
15 places, the distribution was more skewed, and I was wondering
16 if that's sort of a problem lying in wait that has to be
17 addressed somehow, and does he have any sort of
18 recommendations or--

19 DR. CORNELL: Yes. I think in those cases where your
20 distributions are skewed, the mean probability will be
21 different from the median probability, as you've already
22 seen, and will be greater in those cases.

23 There was a concern that we went through in the
24 seismic area over this. There tended to be a certain
25 population that tended to focus around the applicants that

1 thought the median was a better number, and another end that
2 preferred the mean.

3 I think, basically, the support today is we're
4 using the mean, and the reasons for doing it are quite
5 numerous, but include, ultimately, in my mind, the fact that
6 if you're going to use probabilities, ultimately, for
7 assessments and prioritization of resources, you want to use
8 mean probabilities in any kind of risk benefit analysis, and
9 that's ultimately a primary use.

10 The quantitative safety goals of NRC came down on
11 the mean basically because they said, if there is more
12 uncertainty in the probability, the ratio of the mean to
13 median will be higher, and this is one way to sort of reflect
14 the uncertainty. That's kind of ad hoc reasoning, but it
15 comes to the same conclusion.

16 DR. ALLEN: Bob Budnitz.

17 DR. BUDNITZ: I know Allin would agree with the comment
18 that if you've got to use one number, okay, but it doesn't
19 make sense to use one number. The fact is that, what I saw
20 from your distributions, Dr. Crowe, represented in the
21 distribution our state of knowledge, and anyone making a
22 decision that wants the details--and you shouldn't make a
23 decision without the details--needs to know the whole state
24 of knowledge, and sometimes the state of knowledge is
25 adequately captured by the mean for the purposes of what

1 you're doing, but often, it isn't.

2 MR. COPPERSMITH: And, of course, the application here
3 for performance assessment, we'll use the entire
4 distribution.

5 DR. ALLEN: A final question by Bill Melson.

6 DR. MELSON: Bruce, you remember your, of course, your
7 earliest work on this project, and it seems to me your
8 probabilities came out around 10^{-8} ; is that right? Do you
9 want to comment on, is this--are we seeing a housecleaning
10 and an improving methodology, getting back to what was your
11 original estimate?

12 DR. CROWE: Yeah, that's an interesting comment. I've
13 talked with DOE managers about how we've spent ten years and
14 I don't know how many million dollars, and we haven't changed
15 any. That, perhaps, is an argument that we may be getting
16 near a consensus on doing these, but, yes, I mean, the
17 distributions are pretty close.

18 I mean, as I emphasized, what I did earlier was
19 tend to emphasize the bounds, and I really put quite a bit
20 more effort in trying to produce true distributions that you
21 can then extract to respond to the regulatories. So, there's
22 a little bit of difference there, but the numbers are not
23 significantly different.

24 DR. ALLEN: I think we ought to be moving on. Thank you
25 Bruce; thank you, Kevin.

1 The next speaker is Jeanne Nesbit, on the use of
2 Probabilistic Volcanic Hazard Assessment in the Yucca
3 Mountain Program.

4 DR. NESBIT: Good morning.

5 As Clarence said, I am Jeanne Nesbit. I work for
6 the Department of Energy, and Leon asked me to speak today
7 for a few minutes about how the Department of Energy is going
8 to take the wealth of information that you just heard Bruce
9 present, and also that Frank summarized yesterday, and try to
10 make some decisions about what's important to do in future
11 years, and whether we've answered the question of when enough
12 is enough, at least for part of the volcanism issue.

13 So, I'd like to touch on today, in the next ten or
14 fifteen minutes, a few of the things that Leon specifically
15 asked us to address. I think Bruce and Frank, and also,
16 Kevin, have covered some of this. I'm going to try to cover
17 it from a DOE management perspective, basically, from my
18 perspective of managing the volcanism program, and having to
19 try to take this wealth of information and make some decision
20 on what should be done next and where our resources should be
21 allocated in the future.

22 So, I'm going to touch on the objectives of the
23 PVHA studies, which we've already talked about to some
24 extent; the use of this in our programmatic and statutory
25 decisions; use of expert judgment; determining when enough is

1 enough; and also, I'll summarize by pointing out some of the
2 critical studies that I think we still need to do.

3 The objectives of Probabilistic Volcanic Hazard
4 Assessment at Yucca Mountain are to assess the probability of
5 magmatic disruption of the potential repository and/or the
6 waste isolation system, and also to constrain the effects of
7 magmatic events on the potential repository, and that's
8 really the next phase which both Bruce and Frank have alluded
9 to in their presentations.

10 I'd like to point out that our primary focus to
11 date has been to try to determine whether the probability of
12 magmatic disruption of the potential repository is large
13 enough to disqualify the Yucca Mountain site. So, that was
14 really our first key focus, was answering that question. We
15 felt that was most important to determine first, was whether
16 Yucca Mountain site would possibly be disqualified due to,
17 primarily, a volcanic eruption.

18 What I've shown on the other view graph here--and,
19 I'm sorry, I think in your hard copy, the shading didn't come
20 out for some reason, but what I've highlighted here is what
21 we call our post-closure tectonics program, which, actually,
22 volcanism is not a separate program unto itself, although
23 sometimes it seems to have a life of its own. It is part of
24 our tectonics program, specifically aimed at post-closure
25 issues, and what I've highlighted here, really, is the

1 studies in that program, the volcanism are highlighted.

2 This is the probability study which Bruce just
3 talked about, and I just show the arrows, the information
4 flow in this program, with data collection and probability
5 calculations being fed into what we've been referring to as
6 Greg Valentine's effect study, which is basically here, and
7 it's really the link between the data analysis and
8 probability calculations and total system performance
9 assessment.

10 What I also wanted to point out here is that there
11 is this link which we have focused on specifically between
12 the probability study and answering the site suitability
13 question, and that is, would the Yucca Mountain site possibly
14 be disqualified due to the volcanism issue. I'll leave that
15 up there for reference.

16 I'll also point out that these other studies are
17 not necessarily part of the volcanism program, but that the
18 pre-closure tectonics information that Tim talked about
19 yesterday feeds in here, which is the other study that links
20 the data collection, and looks at tectonic effects on waste
21 isolation, basically, and it's kind of the link between the
22 data collection and analysis, and total system PA.

23 So, in order to talk about how we're going to use,
24 or how we have used our probabilistic volcanic hazard
25 information in our programmatic and statutory decisions, I

1 need to remind everybody of what our regulatory requirements
2 are, and what we're actually trying to look at, and that's
3 primarily those contained in DOE siting guidelines, which is
4 10 CFR 960, and the NRC guidelines, which is 10 CFR 60, and
5 they're both focused, really, on complying with total system
6 performance requirements, and also, for 10 CFR 60, engineered
7 barrier system containment and release rate requirements.

8 DR. BUDNITZ: But the first one doesn't exist.

9 DR. NESBIT: Yeah, I realize that it's--but that's
10 what's in 10 CFR 960 currently. I realize that this
11 regulation doesn't exist, so, we're basically operating to
12 something that doesn't exist.

13 Yesterday, however, I think you pointed out that
14 even though it doesn't exist, we still need to be doing the
15 work that's necessary, so...

16 (Laughter.)

17 DR. NESBIT: The point is that the focus is on post-
18 closure issues, waste isolation issues, total system
19 performance. Also, that is also what's required in 10 CFR
20 60, and then, specifically, our guidelines indicate that we
21 need to meet the post-closure tectonics qualifying condition,
22 which is what I alluded to here with this question of
23 potential disqualification of the site.

24 So, I'd like to give you a couple examples of how
25 we've used a couple of tools and how we've come to some

1 programmatic decisions in the past. First, the Early Site
2 Suitability Evaluation, which Tim summarized yesterday, there
3 was a lower level finding on the tectonics qualifying
4 condition, but their recommendation here was just to continue
5 volcanism studies as planned, and they had a few other
6 recommendations, which I won't go into in detail. That was
7 their basic recommendation for us.

8 Total System Performance Assessment, the first
9 iteration, looked primarily at eruptive effects of dike
10 intrusion into the proposed repository, and their conclusions
11 were that the consequences did not exceed the regulatory
12 release limits, and I'll point out that those regulatory
13 release limits do not exist not, but this was also based--
14 there's a caveat here that it's based on really limited, what
15 we call "effects" data, basically, the work that Greg
16 Valentine is now really getting started on.

17 So, their recommendations for us were that they
18 needed to know the estimate of the probability of occurrence
19 of subsurface events. This is what Bruce has alluded to when
20 he's talking about the probability of an intrusion versus an
21 eruption. And, also, they need to know the quantity of
22 debris that could be ejected from repository depths during a
23 volcanic eruption, and as Frank summarized yesterday, this
24 has been Greg Valentine's first focus, and he has quite a bit
25 of that field data now completed, and will be able to provide

1 this information to the TSPA people, hopefully, for inclusion
2 in their next iteration.

3 So, these were their two recommendations, and,
4 based on these recommendations, we've tried to focus on, over
5 the last year or so, moving the volcanism program from the
6 characterization data collection, analyzing Lathrop Wells
7 studies, and the probability calculations, we've tried to
8 wrap as much of this work up as possible and focus our
9 resources on the effects studies.

10 I'll touch briefly on determining when enough is
11 enough, just to remind everyone that determining the answer
12 to that question really depends on your perspective, and I've
13 highlighted a couple here.

14 For the principal investigators, they basically ask
15 whether they've completed the plan that they laid out, and
16 this, in our case, it's something we call study plans, but
17 they spend a lot of time and energy scoping their studies
18 out, writing down what they need to do, and when they have
19 completed this, when they have adequate confidence in their
20 results, then their answer is, "Yes, we have enough."

21 But, from a DOE perspective, from my perspective,
22 and the information I need to provide to my managers, we need
23 to look at the value of obtaining additional site data versus
24 the cost, the cost benefit of additional performance
25 assessment, and, really, how strong is our case of compliance

1 with the regulations that I highlighted earlier.

2 And, I'll point out that, in answering some of
3 these questions, there are several tools that we use; site
4 suitability evaluations, issue resolution, which is primarily
5 contained in topical reports, total system PA, which I have
6 just talked about a little bit, and then the formal peer
7 review expert judgment, and also, feedback from oversight
8 groups and our regulator.

9 Let me summarize for you, then, what we're trying
10 to--some of the tools that I've just alluded to, and how
11 we're going to try to use some of those in the next couple of
12 years. These are primarily major milestones for the
13 tectonics program. The shaded ones are things that are
14 specific to volcanism, and in fiscal year '94, as we have
15 said, Bruce's report, volcanism status report will be
16 completed, and we're trying to finish up the work at the
17 Lathrop Wells Volcanic Center.

18 In fiscal year '95, we will decide whether it's
19 appropriate to write a topical report to try to start
20 resolving some of this with the NRC, so that would be the
21 tool of issue resolution, if you want to look at the tools
22 that we use. Also, there is possibly a suitability
23 evaluation that will be done in fiscal year '95.

24 Some of the key things that we will be doing in '94
25 are, as Kevin has summarized for you, the expert judgment

1 work, which is, hopefully, going to help us take a look at
2 the abundance of data and information that Bruce has just
3 summarized for you, and provide to us some expert opinion on
4 how we can narrow down some of that data, and what data is
5 really important to be looking at, and where we should try to
6 focus future studies.

7 So, this, combined with the external geophysics
8 review that Bruce also talked about that George Thompson is
9 doing, where he is going to look at whether we have enough
10 geophysics information already to determine the question of
11 buried magma bodies in Crater Flat, or whether there are
12 additional things we should do, this information will all be
13 looked at over the next year or so, and we'll feed that into
14 our decisions about whether it's appropriate to write a
15 topical report. These will be fed into suitability
16 evaluations.

17 Also in '95, which I don't have on here, is another
18 total system PA evaluation, where this information and Greg
19 Valentine's effects work, which, although officially is
20 starting here in fiscal year '94, some of his preliminary
21 studies began before that, and so he is pretty far along on
22 at least the question of the amount of material that could be
23 entrained and erupted at the surface.

24 These things will all be factored in to some of the
25 tools that we use in '95, and then these are some of the

1 larger milestones that we plan to complete in '96.
2 Basically, these are final report-type things, using
3 information that we have already heard summarized, and these
4 all feed into the tectonic and geologic models.

5 And then, finally, the effects milestone that is
6 listed there takes the information not only from Greg
7 Valentine's volcanic effects study, but also, the overall
8 tectonic effects study, and provide that into the final
9 geologic model.

10 I'll touch briefly on the use of expert judgment in
11 the Yucca Mountain Program. We do use experts to determine
12 the adequacy of our data set and the adequacy of analysis,
13 and this is, as I referred to, the PIs answering the question
14 of whether they have adequate confidence in their results.

15 We also use independent technical review as an
16 accepted part of the program, and we're considering
17 alternative mechanisms to ensure the diversity of
18 interpretations and completeness, and this is peer review,
19 elicitations, and, for example, in the case of volcanism, we
20 will be using expert judgment to refine the volcanism
21 probabilities, and this is something that Kevin Coppersmith
22 has just summarized for you, and we hope that we have, as
23 Bruce said, he has contributed part of his budget to this
24 effort this year, but it is part of the PA program at Yucca
25 Mountain, and the plan is to include these types of expert

1 judgment and expert elicitation for other issues, and
2 volcanism just happens to be the first one that it's
3 appropriate to do this for.

4 So, to summarize, I'd like to point out some of the
5 critical studies that we still need to do, and I would say
6 the first one is subsurface effects studies, as I've
7 summarized, and Bruce and Frank have also alluded to, that
8 Greg Valentine is starting to work on.

9 Sensitivity studies, I think both Bruce and Greg do
10 some of those on their own, but, also, we need some
11 information from Total System Performance Assessment. We
12 need to compile a comprehensive eruptive effects data set
13 from natural analogs. This is what Greg is working on, and
14 for which I think he has most of the field work completed.

15 Subsurface information, which, primarily, is
16 geophysics, trying to get at the question of whether there
17 are buried magma bodies in Crater Flat.

18 Bruce needs to include the probability of
19 polycyclic volcanism, which he also alluded to in his talk,
20 and we need to look at a magmatic evolution model for the
21 Crater Flat volcanic zone.

22 To summarize, finally, now, the last page of your
23 handout is just additional information that kind of
24 summarizes the key points of Greg Valentine's effects work
25 for fiscal year '94 and '95.

1 I wanted to end with this, really, what is a
2 cartoon of some of the information that Bruce presented, and
3 point out one area where we really need to assess the
4 sensitivity of the information, and here are Bruce's
5 calculations, some of them over here for the different
6 models.

7 This is the probability of magmatic disruption of
8 the repository. The shaded areas are some of the other
9 models that other researchers have proposed, and then here
10 are some of the, what I would call the physical reality, or
11 some of the other Quaternary fields, and I would argue that,
12 as Bruce did, when we get over into this area, we have
13 reached a point where we're no longer in what's geologically
14 reasonable, because we know we do not have the Lunar Crater
15 volcanic field sitting in Crater Flat.

16 The question is, how sensitive are some of the
17 numbers, like 10^{-7} here, and this is where we really need to
18 work with Total System PA. I believe Greg Valentine is doing
19 most of this work, where he provides information on the
20 effects and consequences that he has available, and we need
21 for PA to tell us, based on that information, how sensitive
22 some of these numbers are, and where we really need to be
23 worried, because, from my perspective, if the difference
24 between 10^{-8} or 10^{-9} does not make much difference in the
25 final analysis, then we should not spend additional resources

1 trying to define whether 10^{-8} or 10^{-9} is more significant.

2 And that's all I have to say. Thank you.

3 DR. ALLEN: Thank you, Jeanne.

4 Are there questions from the Board or consultants?
5 Staff?

6 DR. REITER: Jeanne, you said something in the
7 beginning, and I was trying to get a little--you said that
8 one of the concerns is determining whether volcanism was a
9 disqualifying feature of the site, and I never did see a
10 conclusion. Have you reached a conclusion on that, and if
11 you have, what's the basis for it?

12 DR. NESBIT: Well, I stated this at the Technical
13 Program Review, also. The conclusion is that we feel that
14 volcanism is not a disqualifying condition for the site by
15 itself, and we base that, mostly on what Bruce presented, the
16 work that he presented, and he talked a little bit about that
17 10^{-8} criteria, but we feel that the probabilities are low
18 enough that it is not a disqualifying feature.

19 DR. REITER: Did you have any figure in mind when you
20 talk about low enough?

21 DR. NESBIT: No. We don't have any specific criteria.
22 For the most part, we've used that 10^{-8} value kind of as a
23 ball park, because that was the only criteria that we had
24 available to us, even though that regulation doesn't exist
25 any longer.

1 DR. ALLEN: Jeanne, you mentioned that effort was still
2 underway in geophysical studies to determine whether there
3 might be a magma chamber beneath Crater Flat. Of course, the
4 results of those studies will always be debatable, but it's
5 not clear to me how it would affect the results.

6 DR. NESBIT: I think the issue is really we need to make
7 sure that we've used enough geophysics information from
8 Crater Flat to make sure that we aren't overlooking
9 something, and I don't know whether Bruce wants to expand on
10 that or not, but we don't expect to find lots of buried magma
11 bodies in Crater Flat, nor do I believe that geophysics is
12 going to answer all the questions, necessarily, or have the
13 resolution to find things that are this dike width, and I
14 think that might be, in the future, another issue that we'll
15 have to make some tough decisions on, because I don't think
16 it's reasonable to go out and do millions of dollars of
17 geophysical surveys in Crater Flat, looking for things that
18 may or may not have much consequence.

19 DR. CROWE: Bruce Crowe, if I could just make a couple
20 comments to that.

21 I think the issue that we've identified, the
22 sensitivity of that question is, assuming that there are
23 chambers there, it's really how long have they been there.
24 If they've been there, and the imprint that we see in the
25 geologic record is what it is, it just doesn't look like it's

1 going to be a major issue. If they're developing now, and
2 might invalidate the past record to where, say, the next
3 10,000 years will be very different from the future, then it
4 would basically undermine the fundamental assumptions we've
5 made to do the probabilistic assessment, and so, that's
6 probably the key issue.

7 George Thompson and I have discussed this with John
8 Evans, who has presented teleseismic data, and his view is
9 that this is a very long-lived feature that's probably been
10 there since well into the Miocene, and it would indicate that
11 even if it is there, that it's nothing, you know, there's no
12 process ongoing, either tectonic or volcanic process that
13 would change future rates.

14 DR. ALLEN: Okay. Aki?

15 DR. AKI: Yesterday, we heard about the vitreous kind of
16 earthquake triggered by the rare earth earthquake, and as you
17 know, that the same earthquake triggered many swells in many
18 volcanos and geothermal areas in the western United States.
19 Does that imply that this is volcanic-related? There are no
20 comments on that, even on this subject, but I was wondering,
21 what's your interpretation of this vitreous kind of
22 earthquake on volcanic hazard?

23 DR. ALLEN: And answer yes or no.

24 (Laughter.)

25 DR. CROWE: Maybe.

1 That's a very good question. I mean, I would argue
2 that if there's a relationship, it's a trigger relationship
3 that you have to have the pre-existing conditions that would
4 lead to events; that the earthquake sequencing doesn't cause
5 it, you know, it's not the causative factor.

6 I mean, what we think with these particular types
7 of events, that they are sent from the mantle, from, say,
8 depths of 30 to 40 kilometers, and so it's not like we have a
9 chamber that's sitting there in a ready state that something
10 like this would trigger. So, I mean, my gut answer--and this
11 is what Mike might say to this--is that we shouldn't see that
12 kind of a causative relationship, but I also recognize that
13 seismologists ten years ago would have made the same comment
14 about earthquake triggering.

15 DR. ALLEN: Okay. Thank you, Jeanne, and Bruce, and
16 we'll now go on to the final speaker before the break, Keith
17 McConnell, who will again have comments from the Nuclear
18 Regulatory Commission.

19 MR. McCONNELL: Thank you, Clarence. Again, while I'm
20 making the presentation this morning, the technical lead for
21 the staff is John Trapp, and he's here today to respond to
22 any of the hard questions that come up.

23 Our presentation today is similar to the one we
24 gave yesterday on seismic hazards and fault displacement
25 hazards. Basically, we'll provide the regulatory basis for

1 our acceptance criteria with respect to volcanism and igneous
2 activity. We'll then give you some of the acceptance
3 criteria. Again, they're general, high-level acceptance
4 criteria for determining when enough is enough, and then,
5 using that as a template, we'll give you the NRC's review of
6 DOE's progress to date, in that the benchmark for us is the
7 volcanism status report that we got last year, and reviewed,
8 and completed our review, and wrote DOE a letter on that
9 topic in August of last year.

10 So, a large part of what Bruce presented today, I
11 don't think that we're that familiar with, and so, I would
12 say that some of our comments may have been resolved or
13 addressed by what's been going on over the last year and a
14 half or so.

15 And then, finally, we'll identify again some of the
16 critical investigations that we feel are needed for the
17 hazard assessment.

18 Now, one thing I would point out on this view graph
19 is our approach to this presentation, and also our review of
20 the status report and other reports DOE would send us, is
21 systematic. Basically, we have our regulatory basis from
22 which we derive our acceptance criteria. We then use that as
23 the template for determining whether they demonstrated
24 compliance with the regulatory requirements.

25 The regulatory basis, basically, is twofold and

1 parallel. Basically, there is the regulatory requirements
2 for the probabilistic analysis of igneous activity as it
3 relates to determining overall system performance, but this
4 is not the sole or only set of requirements that need to be
5 addressed by DOE when they provide a license application.
6 There are associated, and, again, parallel criteria that also
7 must be addressed, and they relate to siting criteria.

8 Siting criteria that are applied to igneous
9 activity are largely encompassed by 60.122, which relates to
10 potentially adverse conditions. DOE must provide information
11 to determine whether and to what degree igneous activity is
12 present at the site. They have to provide information to
13 determine to what degree igneous activity is present, but
14 undetected. They must also provide and assure that lateral
15 and vertical extent of data collection is sufficient to
16 determine the presence of igneous activity, and, finally,
17 they have to evaluate information with assumptions and
18 analysis methods that adequately describe igneous activity.

19 And this refers back to both the bottoms up, and
20 the top down approach that Part 60 takes to determining when
21 enough is enough. Not only do you have to do the performance
22 assessment calculations, you have to build confidence in
23 those assessments by collecting the data and adequately
24 investigating the site conditions; two-pronged parallel
25 approach.

1 Now, using the regulatory basis, we then go to the
2 general acceptance criteria that were identified yesterday.
3 I won't go back through them, but, again, the first four
4 basically provides the confidence in the modeling and
5 assessment capabilities that you will ultimately do in the
6 assessment of repository performance.

7 Now, if I could move on, we'll just give a brief
8 overview of our reviews--and this includes reviews of DOE's
9 study plans, as well as Los Alamos National Lab's volcanism
10 status report, and most of this information was communicated
11 to DOE in our August, 1993 letter, but prior to doing that, I
12 guess we would like to commend Bruce and his colleagues for
13 kind of putting a bull's eye on their back, and letting us
14 take a shot at it and give them our critique of that report.

15 And I think I would also say that I am encouraged
16 from what I heard earlier this morning, that maybe we're not
17 as far apart as I originally thought, and maybe we are moving
18 towards consensus, not closure, because I think you will see
19 similarities in what we've presented here, and what Jeanne
20 and Bruce just talked about.

21 The staff believes that DOE has made progress
22 towards an acceptable PVHA, but as Steve Wesnousky said
23 yesterday, however, there are some qualifications on that.

24 First of all, we believe that the approach
25 identified in the volcanism status report did not consider

1 all significant processes and events, and an example of that,
2 we feel, is the Tripartite probability, as it was defined in
3 the status report. It appeared to only address direct
4 intrusion. It did not address indirect effects that have to
5 be considered in the assessment of a repository performance.

6 Second, the data presented to date--

7 DR. NORTH: Excuse me. Could you clarify the Tripartite
8 probability? This is the E1, E2, E3?

9 MR. McCONNELL: That's correct.

10 DR. NORTH: My interpretation of what you're saying here
11 is that E3 used to be too narrow.

12 MR. McCONNELL: That's correct.

13 DR. NORTH: Could you comment on the presentations you
14 just heard? Do you think this is being addressed adequately?

15 MR. McCONNELL: It appears to be going in that
16 direction. It appears to be including indirect effects as
17 well as direct effects. So, again, there appears to be a
18 coming together.

19 The data presented to date to support probabilistic
20 analyses are not sufficient to meet Part 60 requirements, and
21 an example of this, I think, is our feeling that geophysical
22 testing to date hasn't established the extent to which the
23 condition may be present, but undetected, and this relates to
24 the issue of, are the detection limits of the geophysical
25 techniques being used sufficient to identify perhaps small

1 features that may be out there. Again, the condition may be
2 present, but undetected. What we would expect would be an
3 analysis of those detection limits, and some sort of analysis
4 of what might be there and not be present that could affect
5 the probability calculation.

6 Third, DOE's approach appears to emphasize tests
7 and analyses to confirm a preferred model to the detriment of
8 testing alternative models and approaches. Again, what we
9 heard this morning may, in part, resolve some of these
10 concerns.

11 I give as an example, I think the Center--the
12 acronym there is the Center for Nuclear Waste Regulatory
13 Analysis, which is our consultant in San Antonio--the Center,
14 in fact, when they reviewed the volcanism status report for
15 us, identified that homogeneous Poissonian models are not
16 suitable at Yucca Mountain, and they took it on themselves to
17 develop other non-homogeneous Poissonian models to test some
18 of what DOE was doing, and I think Chuck Connor will speak to
19 that in the next presentation.

20 To continue, the probabilistic models used to date
21 are not transparent and do not address the uncertainty in the
22 analysis. Again, I think we saw some movement, and I think
23 perhaps it was a function of the speed with which the
24 volcanism status report got out. You know, I think there was
25 a lot of emphasis on getting it out quickly and getting it

1 out so that NRC could comment, so some of these criticisms
2 may be more a function of the mechanism than of the report
3 itself.

4 But, again, as an example, the Center has
5 demonstrated that there is uncertainty in the ages of
6 basaltic events out at Yucca Mountain, and that this does
7 cause variation in probabilities. What we would expect would
8 be an explicit analysis of these, of this type of
9 uncertainty.

10 And then, finally, the probabilistic models to date
11 are largely based on statistical models, and do not
12 adequately incorporate the geologic processes and the
13 understanding of these processes. The issue of structural
14 control, I think, is significant; and, also, the issue of
15 whether there is a low velocity zone down there, and what its
16 significance is, is also an important aspect. It needs to be
17 incorporated in the probability models.

18 Again, we saw in Chris Fridrich's presentation
19 yesterday, and also Bruce's this morning, that there does
20 appear to be some attempt to do this sort of analysis.

21 And to end it, we've tried to identify some of the
22 critical investigations that we feel are necessary to address
23 the issue of volcanic hazard, and I think the list, in many
24 respects, parallels what Bruce and Jean presented this
25 morning:

1 An analysis of the geophysical testing techniques
2 to, again, determine the detection limits. What's present
3 out at Yucca Mountain that's not detected?

4 We would suggest that an appropriate range of
5 models that address structural control needs to be developed,
6 and perhaps they are.

7 A more robust--in a similar vein, a more robust
8 incorporation of geological data into the statistical
9 analysis would need to be done.

10 Site-specific subsurface information on the low-
11 velocity zone. The petrologic, mineralogic, and geochemical
12 analyses, I think, relate more to the consequence analysis,
13 and the explosivity of a volcanic event at Yucca Mountain.
14 What are the consequences if a volcanic event does intrude
15 the repository?

16 A transparent analysis, we would--I think our
17 impression from the draft status report was that there wasn't
18 much transparency in what they're doing. I think with the
19 data that Bruce provided today, we're getting some of that
20 transparency.

21 And then, finally, an analysis that includes both
22 direct and indirect effects of igneous activity, and that's
23 it for us.

24 DR. ALLEN: Thank you, Keith.

25 Questions or comments from the Board? Warner

1 North?

2 DR. NORTH: I'd like to encourage you to be a little
3 more specific on the degree to which there isn't a perfect
4 match between the DOE presentations and what you have on your
5 last slide.

6 Are there any obvious targets for further
7 investigation, particularly field studies, that you think are
8 needed that DOE doesn't have on its agenda? For example,
9 surface-based drilling to look for dikes or sills, evidence
10 of eruption in Crater Flat, or shall we say, evidence of a
11 volcanic event that did not lead to an eruption.

12 MR. McCONNELL: Yes. I think the issue's been raised in
13 our reviews that there is this concern about the
14 intrusive/extrusive ratio, whether the one-to-one
15 relationship is an actual or a conservative assumption. I
16 think there are other fields where that assumption probably
17 is not valid, so there could be a much higher ratio of
18 intrusive to extrusive event.

19 DR. NORTH: Have you defined what kind of experimental
20 data you think is necessary to resolve that issue?

21 MR. McCONNELL: Let me ask my technical lead to respond
22 to that; John Trapp.

23 MR. TRAPP: There's two basic areas that have been
24 suggested for field investigation, primarily in the area of
25 geophysics.

1 One is, really, completion of the geophysical
2 seismic lines across Crater Flat, et cetera, across Yucca
3 Mountain, which, I believe, is scheduled for this year, I'm
4 not sure exactly when. Another one, specifically, would be
5 more incorporation and more explicit incorporation of the
6 teleseismic data into understanding the subsurface
7 characteristics.

8 In addition to this, there is quite a bit of
9 information in the petrology/geochemistry area, where you
10 start getting mainly into consequence, but because you're
11 talking spatial--well, statistics which are driven by spatial
12 understanding of the volcanic process, and the larger
13 processes, et cetera, end up with a different probability
14 than the smaller processes, there is a need to incorporate
15 these into the E2 estimate, to better understand exactly
16 where things fit.

17 MR. McCONNELL: Did we answer your question?

18 DR. NORTH: It goes in the right direction, but I'd like
19 to see if we could be specific. I think, in my lack of earth
20 sciences background, I can see that if we go with the tunnel
21 and we find a 10,000-year-old dike of intrusive material in
22 the proposed repository zone, that's likely to be a clear
23 disqualifying situation.

24 However, the issue becomes, can we, by indirect
25 measurements, the geophysics, assure that there aren't dikes

1 near Crater Flat that would provide evidence for such things.
2 Do we have to drill more holes down there to be as sure as
3 we are going to need to be? And, if it would appear that we
4 have to do some expensive investigations that are not
5 currently in the study plan, would it not be well to try to
6 identify this now so that we can budget for them and plan for
7 them, rather than to determine three or four years from now
8 that the information is not adequate to resolve this issue.

9 MR. McCONNELL: Let me try to respond. I think that
10 we've attempted, in our reviews of study plans, to identify
11 any weaknesses in the characterization program. I don't know
12 that we've identified any specific drilling program or
13 anything else that needs to be done.

14 What we feel is necessary is analysis of the
15 detection when it's of the geophysical techniques, so we know
16 what size of feature, or what we may not be seeing, and then
17 we can make a judgment of whether we need to do additional
18 testing, or spend that money to do a testing. Maybe we can
19 bound, or maybe DOE can bound what could or could not be
20 there.

21 That would be my response. Maybe John--

22 DR. ALLEN: John, do you have any further comments on
23 that?

24 MR. TRAPP: No. I think Keith has hit it fairly well,
25 because one of the key parts of Part 60 that we're looking at

1 is the "basis" that you make sure that there are not
2 underestimations.

3 If you take a look, for instance, at a lot of the
4 geophysical data, there has been, at least in the past, the
5 basic contention that everything's been seen. The
6 aeromagnetic is such that you can pick up all these features,
7 et cetera.

8 As I think Jeanne pointed out, there is not, with
9 the present level of geophysics we've got out there, the real
10 potential of detecting a lot of dikes, et cetera, this type
11 of thing. They just cannot be seen with this thing.

12 Now, what is the real effect of these additional
13 dikes that may be there on any type of calculation? Do these
14 type of analysis, and then maybe you can find out how
15 sensitive these things are.

16 DR. ALLEN: Thank you.

17 Other comments or questions from the Board or
18 consultants? Bob Budnitz?

19 DR. BUDNITZ: Put on that last slide again. I want to
20 ask a question.

21 The penultimate bullet used the word "transparent,"
22 but it was nowhere else in this slide. Is there something
23 special about why that one has to be transparent, or some
24 gripe that it wasn't before or something that made you put
25 that word there?

1 MR. McCONNELL: I think it is in response to our review
2 of the status report, where a lot of the uncertainty, we
3 didn't believe, was included in the analysis. And,
4 therefore, the numbers, the probability ranges that came up
5 were fine, perhaps, but we couldn't see the basis for
6 developing those numbers. The basis and the path towards
7 developing those ranges and the specific most likely number
8 that was given was not clear to us.

9 DR. ALLEN: Allin Cornell?

10 DR. CORNELL: I have a question to the Board. Keith's
11 presentation this morning of a review by NRC of work
12 submitted a year ago and done the year and a half before
13 that, and the possibility that it's been changed by work that
14 Dr. Crowe has done in the subsequent year and a half reminds
15 me of something I learned in one of my previous rare non-
16 disruptive intrusions into Yucca Mountain, where I learned
17 that the NRC is prohibited from talking to DOE on a technical
18 level, and finding out what they're doing, what their models
19 are, how things are going on except in very, very controlled
20 circumstances that don't seem to happen very often.

21 This, to me, as a taxpayer, seems to be sort of
22 wasteful, and, technically, seems to be at least a delay, if
23 not a constraint in getting to a good solution. As a Board,
24 you must have encountered this in many other circumstances,
25 and I wonder their view and opinion is about the reasons and

1 causes and benefits and dis-benefits of this being some kind
2 of constraint in the process.

3 DR. ALLEN: Well, let me just say, there have been an
4 increasing number of workshops involving NRC, ACNW, this
5 Board, DOE, and my impression is the extent of communication,
6 in a constructive way, has been increasing and much better.

7 Would you agree with that, Keith?

8 MR. McCONNELL: It's been increasing. I think we would
9 still like to--and we're struggling to find it--find a
10 mechanism where the technical people can sit down in an
11 unstructured forum and go through these issues, where there
12 isn't the aura of a recording device.

13 DR. ALLEN: It's not just an aura, it's there.

14 MR. McCONNELL: And other factors that tend to
15 formalize it, and to, I think, make it more difficult for
16 people just to sit down and discuss the issues, and I think
17 there is a mechanism, it's just trying to do it
18 appropriately.

19 You're correct, though, there is--I mean, the size
20 of this meeting is consistent with the size of most meetings.
21 They're technical exchanges that are held on tectonic
22 issues, and so, it makes it very difficult to have five or
23 six people sit down and talk to each other, and there always
24 has to be the cognizance that there are other parties
25 involved in this process; the state and the affected

1 governments.

2 DR. ALLEN: Other comments and questions? Staff?

3 (No audible response.)

4 DR. ALLEN: If not, thank you, Keith; thank you, John
5 Trapp.

6 We'll now take a fifteen-minute break until ten-
7 thirty.

8 (Whereupon, a brief recess was taken.)

9 DR. ALLEN: We will proceed with the next presentation
10 on the models of volcanic hazard at Yucca Mountain by Charles
11 Connor of the Center for Nuclear Waste Regulatory Analyses.

12 So, Chuck, it's all yours.

13 DR. CONNOR: Thanks.

14 Today I'd like to talk about some of the status of
15 CNWRA volcanism probability models, the way I'm specifically
16 asked today, to spend some time comparing some of the non-
17 homogeneous Poisson models with other models that we've been
18 developing, and looking into the range in probability
19 distribution functions that result, some of the significance
20 of these differences from my view.

21 Here's an outline of the presentation, then. I'd
22 like to give you an overview of some of the probability model
23 development at CNWRA that's been going on, effectively, in
24 volcanism for a little more than a year now. Spatial and
25 temporal patterns in vent distribution are an important

1 aspect, I think, of the study, and I'd just like to very
2 briefly talk about some of the spatial and temporal patterns
3 in volcanism that we've looked at in a statistical way.

4 I'd like to talk specifically about two models
5 we're developing. One is a near-neighbor non-homogeneous
6 Poisson model; another is a spatio-temporal homogeneous
7 Markov model, and then I'm going to discuss the limitations
8 of these models as they exist today, and how I think some of
9 the numbers are going to change as a result of improvements
10 in these models through time.

11 Really, right now, we see three groups of models,
12 effectively, in our volcanism program. The near-neighbor
13 non-homogeneous Poisson model really, you know, starts with
14 the supposition that there are spatial and temporal changes
15 in the recurrence rate of volcanism in the area, and these
16 need to be taken into account. They are through that model.

17 The Markov model assumes that volcanism can be
18 treated as a spatio-temporal Markov variable. I'll talk a
19 little bit more about that in the middle, and then there's
20 the Cox cluster process as well, which I'm not going to talk
21 too much about today, but in systems that show clustering,
22 and that goes from epidemiology through galaxies, in general,
23 that's a model that's widely used and probably should be
24 investigated in some detail in this process.

25 So, how are these models different? Well, they're

1 based on spatial and temporal patterns in volcanism; that is,
2 statistically significant spatio-temporal clustering, and
3 I'll get into that briefly in a minute.

4 One difference is you don't really need to define
5 discrete areas in order to estimate probability functions.
6 Another difference is you can map probability surfaces, and
7 that really provides a sense of spatial variability in the
8 system.

9 That leads to the next bullet, which is: It's
10 possible to capture some geologic detail in this model a
11 little bit easier, and I think it's easier to integrate into
12 iterative performance assessment, and work toward a geologic
13 hazard map.

14 Just as an example, if you've got a probability
15 surface, and you think that that probability varies over some
16 region, you've got spatial geologic data, like faults or
17 something like that that you want to integrate into that
18 model, I think the probability map, or, say, recurrence rate
19 map is a pretty reasonable approach to looking at the impact
20 of that sort of geologic detail in the long run.

21 Just real briefly, volcanos in the Yucca Mountain
22 region form spatial clusters. I think everybody agrees with
23 this. In a sense, it doesn't matter if people agree or not,
24 because you can prove it statistically, so, with 99 per cent
25 confidence, you can say that volcanos form spatial clusters,

1 and then there are also differences, small differences in the
2 relative ages of nearby cinder cones. In other words, young
3 cinder cones in the region tend to be close together, old
4 cinder cones in the region tend to be close together, and
5 it's comparatively rare that you find young and old cinder
6 cones sitting right next to each other. So there's a spatial
7 clustering and there's a temporal clustering in the area.

8 That leads to two bullets here that the recurrence
9 rate must vary in the Yucca Mountain region. It's got to
10 vary temporally, it's got to vary spatially. It'd be nice if
11 probability models can be developed with some confidence to
12 capture that kind of variation.

13 Homogeneous models are not going to adequately
14 capture that kind of variation, and my basic supposition
15 here, then, is that these homogeneous Poisson models are
16 going to overestimate the probability of volcanism in some
17 parts of the region. For example, far from wherever volcanos
18 have occurred in the past, a homogeneous model is going to
19 predict that the volcanism, the likelihood of volcanism in
20 that spot is the same as it is in the middle of Crater Flat
21 Valley. I don't think that's a reasonable approach.

22 So, I'd say that when we look at these cumulative
23 probability distributions for probability models, for
24 example, we have to look very carefully what models are
25 incorporated into those kinds of probability distributions.

1 I would say that the homogeneous models, it's tough to
2 incorporate those, given the fact that you've got this
3 variation in the recurrence rate, which is statistically
4 significant. So it is valuable to look at these data in some
5 detail.

6 Well, if you decide that there is spatio-temporal
7 clustering of events with 99 per cent confidence in the Yucca
8 Mountain region, then your next problem is how to estimate a
9 recurrence rate which varies through the region.

10 There are various ways to do this, and one way to
11 do it is to use a near-neighbor model, where you're
12 estimating the recurrence rate at a point. It's a function
13 of the number of near neighbors you choose in your model--
14 I'll talk about the significance of them in a minute--and a
15 time/distance term, which is defined in more detail down
16 here, and I'll let you go through that.

17 The basic idea, then, is that you can estimate
18 recurrence rate at a point by moving it through this formula,
19 and that recurrence rate is going to change as a function of
20 things. It will change as a function of distance from a
21 nearby volcano and the age of that volcano, and it will
22 change as a function of the number of nearby volcanos you use
23 in that model.

24 Well, how do we get a handle on the right number
25 for m , or what range of values for m , the number of near

1 neighbors you ought to use. Well, what we've done so far is
2 just integrate this value across the entire region and
3 compare that with the regional recurrence rate. There's not
4 a lot of agreement on what the regional recurrence rate is.
5 That's okay. You can do the calculation using a whole range
6 of recurrence rate, and look at the sensitivity of the model
7 through those changes in recurrence rate.

8 So, we develop these models, use a series of N_s ,
9 numbers of near neighbors, and integrate that over the entire
10 region to look at the recurrence rate. It's then possible to
11 plug that through the familiar formula, this model which say
12 that the probability of the spot is going to depend on, if
13 you just look down here, the recurrence rate at that point,
14 the area covered there, a , and the time you're considering,
15 which is Poisson's formula.

16 In this case, you can change the probability by
17 changing the area considered. For instance, if you decide to
18 use an area for the repository of six square kilometers, you
19 expand that to eight kilometers, cut that down to five,
20 that's going to impact the model and, of course, t will
21 impact the model as well. If you push that out to 100,000
22 years, the probability goes up.

23 The net result of this type of model is a map that
24 looks like this. This is essentially a map of probability,
25 and what I've done here is I've contoured it to simplify the

1 model a little bit. Basically, it's a log contour map. This
2 is explained in some detail in your handout, but -4 here, for
3 example, is a log probability. That's a probability of one
4 in 10,000 in 10,000 years.

5 So, basically, what I'm saying there is that inside
6 this line, the probability of a given eight square kilometer
7 chunk of land will experience volcanism in the next 10,000
8 years is on the order of one in ten--is greater than one in
9 10,000.

10 A couple things about this map. It's put together
11 using a six near-neighbor model, and that corresponds to a
12 regional recurrence rate of about seven volcanos per million
13 years. The open triangles here are the Pliocene cinder
14 cones, closed triangles are Quaternary age cinder cones, and
15 so on. So, here, we see that the repository, in this case,
16 would actually sit on a probable gradient. The probability
17 is much higher than the center of Crater Flat, where we'd be
18 predicting values using this model of greater than one in a
19 thousand in 10,000 years for the likelihood of a new volcano
20 forming, and that probability drops off pretty rapidly with
21 distance from that spot, primarily because volcanism has
22 persisted in this region for a pretty long period of time, in
23 a relatively concentrated way.

24 Well, what we do with this model? How can we test
25 this model, and is it really useful in predicting where

1 volcanism is compared to, say, the homogeneous model?

2 We've done a number of tests in that regard. I'll
3 show you the results of some of them. We can't go into the
4 future. I wish we could. We know, you know, we wouldn't be
5 having this discussion if we could, so we don't know how well
6 any of these models are going to work in the future. We
7 certainly can't wait around for the next volcano, the way we
8 can for the next earthquake, to test and prove our models.
9 It's got a very low recurrence interval.

10 But, we can go back in time, if we put a little
11 faith in geochronology. The geochronology data set out here
12 is outstanding, and has been the result of a lot of work on
13 the part of DOE and its contractors, so let's use that data
14 to help test some of these probability models.

15 So, these different graphs represent slices in
16 time. This graph represents the area five million years ago.
17 The white triangles, or the open triangles represent
18 volcanos that have--events that have already formed at that
19 time. The black triangles represent volcanos or centers that
20 have not yet formed.

21 Now, if we put together a probability surface for
22 five million years ago, we can see that at that time, most
23 volcanism actually, in the region, is concentrated east even
24 of this map area, and a little bit to the north. Very little
25 volcanism in the last ten million years has occurred in

1 Crater Flat Valley. All those triangles are black, and the
2 model does a pretty poor job of predicting a big shift in
3 that direction. It's based on the past distribution of the
4 events, so it doesn't quite capture that shift, so the
5 probability over here is low.

6 Over the next million years, between, say, four and
7 a half or three and a half million years ago or so, some
8 volcanism occurred in this area, which just doesn't get
9 predicted well by the model.

10 If we go over to 1.6 million years ago, there's a
11 lot more white triangles on the plot. Volcanism has occurred
12 during that interval of time, and a lot of that volcanism has
13 occurred in Crater Flat Valley, and there are aeromagnetic
14 anomalies down here, some of which have been drilled, and
15 that's assumed to be volcanic centers down in the Amargosa
16 Valley.

17 Okay, so we've got a change, a shift in the
18 probability map. 1.6 million years ago, sometime just prior
19 to the formation of red cone, black cone, and other cones in
20 the Crater Flat alignment, the probability density map has
21 formed in this region. There's an anomaly, or a mode over
22 here in this region simply because of these older volcanos
23 that formed four and a half to three and a half million years
24 ago. That's the area most likely to experience volcanism in
25 the future, based on the model, 1.6 million years ago. The

1 recurrence rate is relatively low at this period of time
2 because it's been awhile since volcanism has occurred, and I
3 should point out, this is a 6 Near-Neighbor model, just using
4 that throughout.

5 Well, the model predicts the location of the next
6 volcanic events pretty well. Those are these five cones in
7 the Crater Flat alignment. It does about twice to three
8 times as good as the homogeneous Poisson model, using that
9 recurrence rate.

10 After that event, these probability contours expand
11 because there is an increase in the recurrence rate. We've
12 got more volcanos right here. There's an increase in the
13 recurrence rate. These probability contours expand, so we
14 can look at the behavior of the model through time.

15 The next, I'll say episode of volcanism in the
16 region was near Sleeping Buttes, something like .3, \pm .2
17 million years ago. The model doesn't do such a good job of
18 predicting the locations of Sleeping Buttes. That's
19 primarily because these events take place far from where
20 volcanism has been center over time and, in fact, if we
21 chose, somehow, an area and went through a homogeneous
22 Poisson calculation, a homogeneous model would likely do
23 better for predicting the location of Sleeping Buttes than
24 this non-homogeneous model.

25 And then, if we choose a slice of time, then, just

1 before the formation of Lathrop Wells, which I'm just going
2 to say is 100,000 years ago. I know there's some controversy
3 about that, but that's okay. We'll just say just before
4 100,000 years ago, how well does the model do for predicting
5 the location of Lathrop Wells? Pretty good, about two to
6 three times better than a homogeneous Poisson model would.

7 So, here is what's happened, just in summary.
8 Through time, you can look at the probability of volcanism
9 occurring in these eight square kilometer areas across the
10 entire region, and compare that to where the volcanos
11 actually formed. Through since the beginning of the
12 Quaternary, and actually going back to about four million
13 years ago, the model predicts that volcanism is going to be
14 concentrated in this region around Crater Flat, and that
15 turns out to be the case. It's persisted through time.

16 So, the Quaternary volcanos that have formed,
17 cinder cones that have formed, you've got eight of them, six
18 of them in the Crater Flat region. The model does a pretty
19 good job of predicting the location of those guys compared to
20 Crater Flat, so that's one conclusion, is it seems to do an
21 okay job of predicting where the volcanos are going to be.

22 The second conclusion you could draw from this is
23 that, well, at least on the basis of one probability model,
24 volcanism has persisted over a pretty long period of time in
25 the Crater Flat area itself, and the Yucca Mountain block,

1 the repository, proposed repository is relatively close to
2 that cluster. So, this is the kind of utility that a non-
3 homogeneous, a spatial and temporal model can do.

4 It's not the only model that we can use to explore
5 spatial and temporal patterns in volcanism. Another example
6 of a model that's been used in volcanology in the past, but
7 not really in a spatial sense, is a Markov model; and that
8 is, we're going to treat volcanos as Markov variables for a
9 minute, and in words, effectively, what that means is the
10 location of the most recent eruption most influences the
11 position of future eruptions. So, in this kind of model,
12 Lathrop Wells is going to play a real important role, because
13 that's the most recent eruption.

14 Through time, if volcanism doesn't occur, if
15 there's a long repose period, if you will, the position of
16 future volcanism tends toward a homogeneous model. So, if
17 volcanism doesn't occur for--homogeneous Poisson model, so if
18 volcanism doesn't occur for a long, long period of time,
19 you're going to tend toward a homogeneous model. That
20 tendency is described by the diffusion equation; actually, by
21 the Fokker-Planck equation, if you want that diffusion and
22 how it takes place over time.

23 Now, the parameters have to be estimated in that
24 diffusion equation, and those parameters are estimated from
25 the positions of past eruptions in the Yucca Mountain region.

1 There's a little math here that I don't really want
2 to go through in detail. Basically, you've got a Fokker-
3 Planck equation describes this probability, conditional
4 probability density distribution. The probability is going
5 to be a function of time, and it's going to depend on two
6 variables which need to be estimated somehow.

7 One is this variable η . It's a time derivative
8 of mean volcano position, and σ^2 is a time
9 derivative of the variance in mean volcano distribution.
10 These parameters depend on the moments of the probability
11 function, where, for instance, η is a time derivative of a ,
12 and σ^2 is a time derivative of b , such as depends
13 on the first and second moments of the probability density.

14 In this case, we estimated these parameters with a
15 sledge hammer, just said that we're going to use the root
16 mean square fit of η and σ^2 in this distribution
17 to estimate those parameters; that is, based on the positions
18 and timing of volcanism over time. If you expand this into
19 two dimensions, you have to deal with a σ^2_x , a
20 σ^2_y , and η_x , η_y . So, you've got a
21 probability density function. We estimate those parameters
22 from the distribution and timing of past events.

23 This is the kind of model you come up with when you
24 use this kind of probability density function, this Markov
25 approach. I want to go through the way I've cast this a

1 little bit carefully, because the--you can cast the solution
2 to this in different ways.

3 Here, basically, what I've said is I'm going to
4 look at this as an area term. If volcanism were to occur
5 today, where would it be most likely to occur in the region?
6 And, again, this is a log probability plot, so -4 indicates
7 that if volcanism were going to occur today, the probability
8 that it would fall within this region, within an eight square
9 kilometer area, would be about 1×10^{-4} . Within this, it
10 would be 1×10^{-3} .

11 And, of course, this model indicates that volcanism
12 is most likely to occur at Lathrop Wells. Why is that?
13 Because that time derivative of eta, estimated from the
14 distribution of volcanos as a whole, moves pretty slowly on
15 the time scales we're interested in. Lathrop Wells is a real
16 young event, so, as this model would say, volcanism is most
17 likely to occur near Lathrop Wells, since that change in mean
18 volcano position is relatively slow.

19 On the other hand, this thing's got some kind of
20 variance to it, and that variance is estimated from past
21 distributions, from the distribution time and the past
22 volcanism as well, so out here at the repository site, then,
23 using these kinds of--using the parameters I've used in this
24 model, you wind up with a probability that volcanism would
25 occur there on the order of 1×10^{-3} to about 3 or 4 $\times 10^{-3}$.

1 That would be the probability would occur there if volcanism
2 were to occur now.

3 There are various ways to cast this, and so, what
4 we've done here is contour if volcanism were to occur now,
5 where would that volcanism most likely occur. That's not per
6 10,000 years. So, we've got a slice in time. Where is the
7 most likely position volcanism would occur if it were to
8 occur now?

9 One thing you could do if you wanted to take this
10 approach is multiply that by some recurrence rate or
11 whatever, and get a probability density function for the
12 disruption of volcanism in 10,000 years. So it's two contour
13 plots that contour different things.

14 So, I just want to summarize some of the results
15 using these parameters. If you assume a regional recurrence
16 rate of between four and ten volcanos per million years, and
17 using this non-homogeneous Poisson model, you wind up with a
18 range of probabilities of disruptions on this order, from
19 about 8×10^{-5} to about 3.5×10^{-4} , and most of the values
20 fall within here. It would be great to re-cast these as
21 uncertainties, and we plan to do that.

22 Based on the preliminary results from the
23 homogeneous Markov model, and using a age of Lathrop Wells
24 between .05 and .15 million years. The uncertainty of the
25 age of Lathrop Wells is important in this model. You wind up

1 with a probability that a new volcano will form within the
2 repository bounds, should volcanism occur, of between about
3 1.5 and 3×10^{-3} . This is just an area term. Should
4 volcanism occur, that's where it would be.

5 DR. CORNELL: And you might consider hitting that with a
6 number like 10^{-8} if you wanted to ask what is the probability
7 one will occur there next year?

8 DR. ALLEN: That's Allin Cornell speaking, for the
9 record.

10 DR. CONNOR: Well, except nobody would use that low a
11 number, I think. I think everybody's estimate of the
12 regional recurrence rate is higher than that.

13 So, I want to point out, these numbers are likely
14 to change, and I think it's important to keep this in mind.
15 Some of these are applicable only to our probability models.
16 I think some of these are applicable to everybody's
17 probability model.

18 Right now, in our models, we treat volcanos as
19 points, and we're just looking at where the volcanos have
20 been, at what time they've been there. There's enough
21 discussion on how to treat that data set. We're not really
22 considering things like probability density functions for
23 dike geometries in these models. We're not really accounting
24 for satellite vents in these models and the probability of
25 disruption. I think that once we include those kinds of

1 things, the probability of disruption is likely to increase.

2 Probability models generally don't incorporate
3 geologic and geophysical information to a convincing degree.

4 I think every presentation so far on volcanism has basically
5 stated that in one form or another.

6 One thing that's important is we need to look at
7 the indirect effects of volcanism. What's the change in the
8 hydrologic setting? What are the changes in the geochemical
9 transport rates as a result of volcanic degassing in the
10 subsurface, for example? Bruce mentioned that, but the DOE
11 is looking into that. I think it's an important thing to
12 constrain, because that will greatly increase some of these
13 area terms.

14 These are sort of equivalent to what Allin Cornell
15 referred to as the loading terms in his discussion yesterday.
16 I think they're important. One is, what's the scale of
17 structural control on magma ascent? Can structures capture
18 these things or not? How likely is that to occur? What
19 effect does change in the magma supply rate in the system
20 have? It would be nice to somehow try to incorporate those
21 factors into probability models in a very systematic and
22 pragmatic way.

23 There's a lot of uncertainty in these calculations.
24 We just finished talking a bit about the shallow
25 intrusion/extrusion ratio. That could be a very important

1 factor; for instance, in the coastal volcanic field, Charlie
2 Bacon, based on heat flow measurements, said that the
3 intrusion and extrusion ratio might be about 200 to 1, so
4 there are ways, using some geophysical methods in some
5 circumstances to address that kind of issue, and help
6 constrain it.

7 Geochronology, of course, has an impact on
8 uncertainty as well, which several models have attempted to
9 address. It needs to be propagated through all these
10 calculations.

11 Is there a range for explosivity of small volume
12 basaltic eruptions? Is there a PDF for explosivity? What
13 about ash and waste dispersion models? It's unlikely that,
14 given a normalized release standard, for example, an ash or
15 waste dispersion model would be very important, but on a
16 dose-based model, the way ash is distributed as a result of
17 one of these eruptions is probably very significant.

18 I'd just like to point out that if you just take
19 the literature as it exists, probability calculations for one
20 or more events disrupting the repository during a 10,000 year
21 period of time vary from about 5×10^{-5} --that's essentially
22 the number that was in the LANL status report draft of about
23 a year ago--up to about 3×10^{-3} , based on some of the UNLV
24 work where N is the number of small volume basaltic volcanos
25 and, you know, as you guys are aware, these are based on

1 widely varying assumptions and solution strategies.

2 Well, I think this is clear. As people have stated
3 previously, all these models indicate that volcanism is a
4 performance assessment concern. I don't think there's much
5 question about that. From that, it follows naturally that a
6 probability model that does not incorporate the geologic
7 detail; that is, these load terms I was talking about,
8 doesn't fully address the volcanism issue.

9 Since no probability model right now incorporates
10 the geologic detail to a sufficient degree, I'd say there is
11 no question about closure on a probability issue. That needs
12 to be addressed, and the range in current models, even if you
13 want to pare that down a bit, has a pretty important impact
14 on performance assessment. It makes a big difference whether
15 we're down here in the high 10^{-5} to the mid- 10^{-4} range in
16 terms of performance assessment, and I think that's also
17 important to keep in mind.

18 So, I'd just like to summarize this in three ways.
19 First, some specific results of our probability analyses at
20 the Center:

21 Vents cluster in time and space in the Yucca
22 Mountain region. It's a fact. You don't need to worry about
23 it any more. Probability of eruptions is highest near Crater
24 Flat, and it's been that way since about the beginning of the
25 Quaternary, and, actually, we could send that back all the

1 way to about four million years. To me, that would indicate
2 that there's a problem applying temporally or spatially,
3 particularly spatially homogeneous Poisson models to this
4 kind of system. Since there are so many other well-developed
5 classes of probability models designed specifically to deal
6 with that sort of issue, it's auspicious to incorporate those
7 in an analysis.

8 The probability of a new volcano forming within the
9 candidate repository site, based on this non-homogeneous
10 model, is on the order of 1×10^{-4} to 3×10^{-4} in 10,000
11 years. Markov models, of course, support the idea that
12 volcanism is most likely to occur in the Crater Flat region,
13 simply because that's where Lathrop Wells is, and that time-
14 dependent mean volcano position doesn't move very fast. The
15 time derivative isn't large.

16 At least our models aren't going to be complete
17 until we can do a bit more work. Well, for example,
18 incorporating indirect effects, explosivity, structural and
19 tectonic control into these probability models.

20 And I'd just like to end with kind of an overview
21 statement that it's worth exploring a full range of these
22 models, and I'd like to make a couple points about that.
23 First, the effort that goes into probability model
24 development is really small compared to the effort that has
25 gone into getting this data. There's a lot of blood on the

1 floor over geochronological issues, and it seems like it's
2 finally coming to some kind of resolution. Lots of people
3 have spent an awful lot of time mapping out there. Compared
4 to that, the probability model development is not a big deal,
5 and not a big sport.

6 There's a whole range of probability models--three
7 of which I've shown you, I've described here, that we're
8 pursuing--that can be applied, and, finally, it's auspicious
9 to test models using other volcanic fields, and I think
10 that'll reveal some of the strengths and weaknesses inherent
11 in this approach, and, as Bruce showed, he's moving in that
12 direction. I think it's an important thing to do. Before
13 there is any kind of closure on this probability issue, I
14 would say that--or consensus, I guess I'm supposed to say, on
15 this probability issue, it's got to get to that point in
16 order to get some confidence in these kinds of models.

17 So, thanks for your attention, and I think I have
18 time for some questions.

19 DR. ALLEN: Thank you, Chuck.

20 Comments or questions from members of the Board or
21 consultants?

22 DR. MELSON: Chuck, first of all, I think I'd like to
23 commend you on having the mathematics fit a bit more of the
24 reality of the situation by using the cluster approach and
25 whatnot. I think Bruce is incorporating that, kind of in

1 following what you're doing.

2 However, so acknowledging that you're getting
3 closer maybe to what some sort of real physically-constrained
4 model is of volcanism, I notice you don't look into or don't
5 use what seem to be some of the patterns; for example, the
6 elongation to the northwest of the vents. Your equations
7 don't seem to take that part of what seems to be a
8 significant feature; is that correct?

9 DR. CONNOR: Well, you know, if--for example, I have
10 applied this in kind of a preliminary way to some, you know,
11 for example, to the Lunar Crater volcanic field, where the
12 patterns really elongate, and the non-homogeneous Poisson
13 models capture that kind of change in the volcanic position
14 through time; and, for example, the Markov model, when you
15 look at the time derivative of mean volcano position, that
16 just moves right along up the chain. So, in a sense, I would
17 say that if that is a truly significant aspect of a volcano
18 distribution, then maybe the models would capture that on
19 their own.

20 Second, I've done some statistical analysis on the
21 significance of the volcano alignments that have been
22 proposed in the Crater Flat region. I've presented this at a
23 technical exchange last year, and I don't find them to be
24 very convincing in a statistical sense. Now, that doesn't
25 mean that we ignore them, but that means that I think that

1 limiting, or that defining of an area called the Crater Flat
2 Volcanic Zone on the basis of the distribution of volcanos
3 alone might not be warranted.

4 Now, if additional information could be brought to
5 bear on that, such as regional structures or whatever, I
6 think that's great, but, right now, I don't see that as being
7 any reason to force a model in one direction or another based
8 on patterns in vent distribution.

9 DR. ALLEN: Bill, why don't you follow up if you wish
10 to?

11 DR. MELSON: I just wanted to follow up a bit on that.
12 What did you make of John Whitney's model for the
13 distribution of tensional systems that might be showing such
14 a trend? This seems to be--

15 DR. ALLEN: This was Chris Fridrich's model.

16 DR. CONNOR: Chris Fridrich's model on the--

17 DR. MELSON: I'm sorry. Chris Fridrich's model; right.

18 DR. CONNOR: Yeah, on the right or lateral shear zone.
19 I think that's a great model, and I think that it's a real
20 interesting point, that maybe you can, based on geologic
21 information, confine your analyses to particular areas.

22 I would point out, though, that it's probably not a
23 conservative approach to drop the probability from, say, very
24 high in the Crater Flat volcanic zone, to zero just outside
25 that zone, based on a structural model, and if you go to

1 fields where a lot of volcanism has occurred, you find out
2 that that wouldn't be a good thing to do, that it does tend
3 to diffuse outward through time, the more volcanos you get.
4 A good example would be the Michoacán Guanajuato volcanic
5 field in Mexico, or even some of the larger fields in the
6 western United States.

7 DR. ALLEN: Allin Cornell?

8 DR. CORNELL: I have a related follow-up question, too.
9 I think the question may go to the form of the diffusion
10 equation for the probability you've got here. It doesn't
11 have a term that, in effect, permits rotation of the axes.

12 DR. CONNOR: That's right.

13 DR. CORNELL: And if you did, it might try to line up
14 along that northwest trend.

15 DR. CONNOR: Yeah, we're working on that.

16 DR. CORNELL: Okay.

17 DR. CONNOR: The Markov model is preliminary, and I
18 wanted particularly to present it here just to show there's
19 another class of model that needs to be investigated, and,
20 certainly, that point you raised is an important one, that,
21 right now, we're--

22 DR. CORNELL: Another way to say it is, if you just
23 changed north, your numbers would change, I think. In other
24 words, you might find that these become, instead of these
25 sort of near circles that your results get, if you change the

1 x and y definition, you might find yourself simply narrowing-

2 DR. CONNOR: That's right, and I actually have done
3 that, and it doesn't really affect it.

4 DR. ALLEN: Mike Sheridan?

5 DR. SHERIDAN: I'd like to indicate that I agree pretty
6 strongly with you, that we should incorporate geological and
7 geophysical concepts, and accepted models into any model of
8 volcanism, and I'd like to have you show that last slide,
9 that last transparency that was on the--that you showed up
10 there. It was just up there a minute ago, to illustrate--
11 yeah, right.

12 For example, in your Markov model, you've taken
13 into account all of the volcanos that occur in this region,
14 including Sleeping Buttes, isn't that right, and Buckboard
15 Mesa?

16 DR. CONNOR: Yeah.

17 DR. SHERIDAN: Now, if we take into account a model for
18 magma generation and transport to the surface, and we imagine
19 some reasonable depth of magma generation, for example, like
20 60 kilometers, or whatever you want to choose, and then you
21 imagine that we're considering one system here, rather than
22 several different systems that are quite independent and not
23 related in time or space, as the Markov model seems to
24 indicate, that it can jump from one place to another.

25 I think we then get into rather convoluted

1 geological arguments to explain how magma generated from a
2 single source could be shooting around to all these other
3 sources.

4 DR. CONNOR: Right, and I don't want to defend the
5 geologic basis of the Markov model. I think there's some
6 things that it might be good for addressing some issues it
7 might be good for addressing, and others where it's not as
8 good at addressing it.

9 One way to approach the kind of problem you're
10 talking about is to go to a non-homogeneous Markov model,
11 which previous events, not just the last one, get more weight
12 on the actual conditional probability density function you
13 wind up with, and that's an approach. I think this needs to
14 be explored in more detail.

15 DR. SHERIDAN: I think if we take that approach, then
16 the recurrence intervals for each of the different systems
17 would be quite different. I think it's really something that
18 should be explored.

19 DR. CONNOR: Yeah, and a good class of models, actually,
20 to deal with that kind of question is this cluster process
21 models, in which you have a parent process, which might be
22 magma generation, and you might say that has a homogeneous
23 Poisson distribution if you want to, or whatever, those
24 pockets where magma is generated, and that results in a
25 daughter process, and daughters being the volcanos

1 themselves, might be distributed according to some
2 probability density function about each parent.

3 Those kinds of models have a, you know, for the
4 magma generation story, anyway, that kind of model has a good
5 geologic basis, and even some of the probability density
6 functions you might apply to the daughter process could have
7 a good geologic basis as well.

8 DR. ALLEN: We just have to move on here. Do you have
9 something important, Allin?

10 DR. CORNELL: Just to say that this is exactly after
11 shock removal, et cetera, in the earthquake problem, and I
12 really recommend we look at those.

13 DR. ALLEN: We have to move on. For example, I feel
14 sure that Bruce would like to say something here, but this
15 afternoon, hopefully, we'll have a chance to explore some of
16 these further.

17 The next presentation this morning is comments by
18 the State of Nevada, and Dave Tillson will be speaking for
19 Carl Johnson.

20 MR. TILLSON: This is going to be short, because of four
21 reasons: One, I only have two view graphs--actually, five
22 reasons. I don't have Steve Wesnousky to run them, and a lot
23 of it is repetitious of yesterday. We want to give much more
24 time to Dr. Ho and Dr. Smith, who are the State of Nevada's
25 experts in volcanology, and, finally, Leon Reiter hasn't

1 written a book on this subject, so I don't have to have some
2 view graph relating to what he's said.

3 The State of Nevada has been involved in this
4 program for finding a site for the disposal of high-level
5 radioactive waste since 1983, at the start of the National
6 Waste Policy Act, when there were nine sites.

7 Early in the state's involvement, the then project
8 manager for the Nevada siting project, Don Vieth, stated that
9 resolution of the volcanic hazard had the highest priority
10 relative to studies at Yucca Mountain. He indicated that a
11 need for quick resolution was paramount, in DOE's view,
12 because of the obvious perception of hazards posed by
13 volcanos in close proximity to a possible hazardous waste
14 repository site. Now, here we are, meeting over a decade
15 later, and we still do not have resolution on the volcanic
16 hazard issue. Why is that?

17 The primary reason is that there is no consensus as
18 to what is the natural volcanic system operating in Yucca
19 Mountain. We know that there have been volcanic processes
20 that have directly affected Yucca Mountain in the past. We
21 know that there are active volcanic processes operating
22 within the Yucca Mountain geologic setting today. What we do
23 not know is the potential process which could trigger
24 volcanic activity in the future.

25 The State has commented on numerous occasions

1 before this Board about our concerns with the DOE's approach
2 to assessing the volcanic issue. I will not repeat those
3 comments here today. I will only repeat that the basic tenor
4 of our argument that first the DOE must understand the
5 natural system at Yucca Mountain, and the volcanic processes
6 operating within it in order to define the hazard, then they
7 can begin to define the engineering system and the ways it
8 can fail when subject to the hazards, in order to establish
9 the potential consequences.

10 Now, Gene Smith, particularly, will have a lot more
11 to say about the problems we have with understanding the
12 natural system.

13 Once an engineered design has been decided upon
14 that minimizes the potential consequences, we think then, and
15 only then, a risk assessment can be made.

16 I will not read all of these, because I assume most
17 of you have read them while I was making that brief
18 statement. I will only state that, until our knowledge is
19 complete about the volcanic processes operating at Yucca
20 Mountain, we do not feel that an acceptable volcanic hazard
21 assessment can be achieved.

22 And, with that, I'll turn it over to Dr. Smith,
23 unless there are some questions.

24 DR. ALLEN: Thank you, Dave.

25 Are there questions for Dave Tillson?

1 (No audible response.)

2 DR. ALLEN: Let me just ask: You state that until the
3 understanding of volcanic processes is complete, we will
4 never be in a position to evaluate the hazard. Well, of
5 course, our understanding will never be complete. Does that
6 mean we will never be able to evaluate the hazard?

7 MR. TILLSON: I don't think I meant it in--or Carl
8 Johnson meant it in quite that absolute term. We all know,
9 and certainly as earth scientists, that there's some level of
10 understanding. Now, we haven't approached that level, is our
11 position. We still feel that there's differences between the
12 State's understanding of the volcanic processes that are
13 operating, and those that the DOE are proposing, and we don't
14 feel that we have arrived at that point yet.

15 Now, in terms of a methodology, certainly, it's
16 appropriate to talk about a methodology and the development
17 of such, the expert judgment. I, personally, encourage the
18 use of expert judgment, but to say that we're in a position
19 now to take a final standing on what the volcanic hazard in
20 Yucca Mountain is, I think it's premature.

21 More importantly, we still feel that there is this
22 schism or difference between the hazard and the consequences.
23 You can't do one without the other, but you have to do the
24 hazards first before you can realistically assess what the
25 consequences are going to be.

1 DR. ALLEN: Other comments or questions by Board
2 members, consultants, staff?

3 (No audible response.)

4 DR. ALLEN: Okay, thanks. Thanks, Dave.

5 Then our next speaker will be Gene Smith with the
6 University of Nevada at Reno, speaking on alternative models
7 of volcanic zones and probability of eruption near Yucca
8 Mountain.

9 DR. SMITH: For the record, to start off with, to
10 correct Clarence, since there is a major difference between
11 the University of Nevada, Las Vegas, and the University of
12 Nevada, Reno, I just wanted to point out I am from the
13 University of Nevada, Las Vegas, for the record.

14 DR. ALLEN: Did I say Reno?

15 DR. SMITH: Yeah.

16 DR. ALLEN: I apologize.

17 DR. SMITH: That's a minor problem.

18 I was persuaded by our secretary to use some high-
19 tech holders for transparencies, and I'm not sure exactly
20 what this is going to result in, probably total catastrophe
21 as I drop them all.

22 I just wanted to point out that this will be a two-
23 part presentation. I will begin by talking about the
24 geological aspects of our studies, and then Dr. Ho will talk
25 about the probability studies that he's been doing, so that I

1 will talk about 15 or 20 minutes, and then Professor Ho will
2 then take over and finish the presentation.

3 Now, there's several important questions I would
4 like to try to address today. The first is, which geologic
5 studies are important for hazardous assessment? This is what
6 I was basically requested to do during the time that I have,
7 rather than give a progress report of my activities for the
8 last year and a half.

9 And then, secondly--and this is something that's
10 very important--is will these studies make a difference in
11 probability calculations? And, hopefully, this is a topic
12 that Professor Ho will address following mine.

13 Thirdly, can we have confidence in hazard
14 assessment models, without understanding the volcanic
15 process?

16 Now, the three geologic studies that I'd like to
17 discuss today--these are three of many--three that I feel are
18 very important is, first, the definition of a volcanic event.
19 This factors into most of the probability models; however, I
20 don't really think we have a good understanding of what a
21 volcanic event is. We have to talk about this.

22 Secondly, what is the structural control of
23 volcanism, and what are the areas that might be affected by
24 future eruptions? This has been a topic of great debate up
25 to now, during this meeting, and I think something that I'd

1 like to add some comments.

2 And, also, what is the explosivity of eruption?
3 The first two mainly reflect probability calculations, the
4 last one mainly is related to consequence analysis.

5 Now, in terms of the definition of a volcanic
6 event, to me, the definition is unclear. There's a variety
7 of different ways that you can define volcanic event. I've
8 seen definitions based on chemistry, field relations,
9 geochronology, geographic distribution. I think we have to
10 come to some consensus and develop a usable definition of a
11 volcanic event.

12 Now, there's several different ways that one can
13 define this term, and I'll show you examples of each of
14 these. You could define a volcanic event as simply a field
15 of volcanos formed at about the same time, or the eruption of
16 a chemically distinct batch of magma, or you could define a
17 volcanic event as eruption separated by significant periods
18 of time, or you can simply count the number of vents that you
19 have, or you can count the number of volcanic complexes.
20 There's a variety of different ways of doing this.

21 Let's take a look at the first one. Let's look at
22 a field of volcanos formed at about the same time. If we do
23 it this way, I must point out that the handout that I gave
24 you may not have the transparencies, and there might be some
25 transparencies that are in there that I'm not showing,

1 because I made some late last-minute changes. If you're
2 searching for a transparency, it might not be in there.

3 A field of volcanos formed at about the same time,
4 we would have three major events in the Yucca Mountain area;
5 the Lathrop Wells cone, about 100,000 years old, even though
6 there's a range of ages that have been proposed; 1.1, or
7 about one million years for the volcanos in Crater Flat; then
8 the older 3.7 million-year-old lavas in the southeast part of
9 Crater Flat would be a third event.

10 So, looking at a map which I borrowed from one of
11 Chuck Connor's presentations, looking at the Yucca Mountain
12 area, the repository site right there, we would have the
13 Lathrop Wells, call that one event; the 3.7-year-old lavas in
14 Crater Flat, call that Event No. 2; and then the one million-
15 year-old Crater Flat volcanos that formed this northeast
16 trending chain as a third event, so this is one possible way
17 of defining the number of volcanic events in the Yucca
18 Mountain area.

19 If you look at another possible way, eruptions
20 separated by a significant period of time, looking at Crater
21 Flat itself--this is an area I'm most familiar with--Red Cone
22 would be two events and Black Cone would be two events, so
23 the Red Cone/Black Cone pair would represent a total of four
24 events.

25 Let me just show you a geologic map of Red Cone, to

1 try to demonstrate the type of information that we're using.
2 At Red Cone, which is in the central part of Crater Flat,
3 there are two major ages of lavas. Here's the main cone
4 itself. The black color represents the younger lavas that
5 erupted from a series of small scoria mounds that are shown
6 by the triangles. These overlies with a fairly good
7 unconformity eroded scoria mounds and older lava present
8 mainly through the south of the Red Cone itself, and this
9 contact represents an unconformity that may represent a
10 significant period of time lapse between the eruption of the
11 older flows and the younger flows.

12 So, on the basis of time difference, there would be
13 two major episodes here at Red Cone, one representing the
14 eruption of these younger black flows, and the other
15 representing the eruption of these older flows in the red and
16 purple colors, and you can use the same type of arguments at
17 Black Cone, and show that there are two major episodes,
18 separated by a fairly significant period of time.

19 If you look at eruptions of chemically distinct
20 magma batches, then, right now, my feeling is that Red Cone
21 and Black Cone represent a total of two events, rather than
22 four, as represented by the previous way of looking at
23 things. Let me just show you some of this geochemistry.

24 I've plotted cerium versus strontium here. Black
25 Cone data clusters very nicely in this area right here. This

1 circle here represents the average Black Cone composition.
2 Red Cone, which is only a short distance to the north--short
3 distance to the south of Black Cone, shows a array of
4 chemical data extending from a fairly enriched composition up
5 in this area here, to the Black Cone chemistry. So, Black
6 Cone tends to cluster; Red Cone produces a data array.

7 Our current thought is that looking at two
8 independently-derived magma batches here, one representing
9 the Black Cone type, the other representing a more-enriched
10 Red Cone type, then we have mixing between the two magma
11 types to produce the data array that we see at Red Cone.

12 The same difference is also seen in the isotopes.
13 We'll just focus in on this top part of this figure, plotting
14 here initial strontium ratios on the X axis, epsilon the
15 odimnium values on the Y axis. Black Cone, which is shown by
16 the black squares, falls in this area right here. The more-
17 enriched Red Cone composition falls up here, and we see a
18 data array in Red Cone of isotopic values extending from an
19 enriched Red Cone-type, to the more depleted Black Cone-type,
20 so we see the same two magma batches, one here, one here,
21 with possible mixing between the two in the isotopes.

22 So, what does this mean? Well, we can produce sort
23 of a cartoon model. We feel that there was independent
24 partial melting in the mantle to produce those two batches;
25 one being the Black Cone magma-type, the other showing green,

1 which is the Red Cone magma-type; that the initial eruption
2 at Red Cone, forming the older eruptions at Red Cone, the
3 initial eruptions at Black Cone, or the Black Cone magma-
4 type.

5 So, we feel that we probably had coeval eruption at
6 Red Cone and Black Cone early in the history of these two
7 volcanos, that we had a linkage of the magma system between
8 Red Cone and Black Cone, and this one event produced
9 eruptions in two places along this northeast trending zone.

10 This is then followed by a mixing someplace in the
11 crust, probably fairly low in the crust--this is probably a
12 bit too high--between the Red Cone and Black Cone magma-
13 types, producing the data array shown by the orange and the
14 green colors. So, we feel like we have two histories going
15 on here. Black Cone is relatively simple, all Black Cone-
16 type. Red Cone is this mixture of Black Cone and Red
17 Cone-type, but we're looking at two major events here, one
18 Black Cone, one Red Cone magma-type, so this is another way
19 of defining a volcanic event.

20 Now, if we simply count vents--and I have to go
21 back and get a slide here that I used before--if we simply
22 count vents, then at Red Cone, we might come up with a total
23 of 14 events, if we simply count the number of vents that we
24 see at Red Cone, and just to remind you of what the geology
25 is like, what I'm doing here is counting each one of these

1 individual scoria mounds which represents a separate eruption
2 of magma as a separate vent or a separate event, and there'll
3 be 14 vents, 14 events at Red Cone, a total of 28 in Crater
4 Flat. This is another way of going about it.

5 And the last way of doing this is to simply count
6 volcanic complexes. In this case, Red Cone would be one,
7 Black Cone would be one. There'd be four events in Crater
8 Flat, so all we're doing here is looking at a geologic map of
9 Red Cone and Black Cone, simply saying that the formation of
10 this entire volcanic complex is one event, the formation of
11 this entire volcanic complex is one event.

12 So, just looking at Red Cone, we could see that Red
13 Cone may represent, depending on how we define the volcanic
14 event, is anything from a fraction of a volcanic event, to
15 14. Now, if you were to ask me, well, which one do I like at
16 the present time, which one do I think is the most
17 reasonable, I think that my prejudice would put me someplace
18 in this range right here. I like either the chemical model
19 or the time-dependent model, so I would say there's somewhere
20 between two and four events recorded by Red Cone and Black
21 Cone.

22 So, what we have to try to do is, we have to try to
23 do some work to try to provide a better definition of a
24 volcanic event. We might be able to say, well, whether it's
25 two or four, it's not going to make that much difference in

1 the probability studies, but if the real answer is 14 and we
2 have 28 events, then there's a big difference between 28 and
3 2. We have to find out which one of these definitions is the
4 proper one to use.

5 I think the types of studies we have to do in order
6 to better define a volcanic event, we have to be able to do
7 more detailed geochemical studies of small volume volcanos.
8 We have to have detailed geochronology. We not only have to
9 date the entire complex, we have to have dates of each
10 individual flow, and I think that the Argon dates that Frank
11 Perry reported, I think the errors are--we're looking at
12 errors of plus or minus 10,000 years. We might be able to
13 see differences at Black Cone between individual flows.

14 We also have to do detailed mapping of these small
15 volume systems, and as has been mentioned by several other
16 people, we have to look at modern analogs.

17 Now, the second point, we have to try to determine
18 what the area of concern for hazard assessment is. What is
19 the area that might be affected by future eruptions? Bruce
20 has mentioned, and has shown you today the Crater Flat zone.
21 I, for a long period of time, have been pushing this Area of
22 Most Recent Volcanism, which is a larger area, which includes
23 the Buckboard Mesa center.

24 I think that, in a way, it doesn't really make,
25 really, that much difference which one of these zones that

1 you choose. It's really more important to try to identify
2 specific zones of high volcanic hazards within these larger
3 areas. This is the way that Dr. Ho has been trying to do the
4 probability calculations. Instead of looking at the AMRV of
5 the Crater Flat zone, we have to find specific targets that
6 might be areas of higher volcanic hazard.

7 This volcanic risk rectangle concept that I
8 proposed almost four years ago is one attempt at doing this.
9 Just to refresh your memory as to what this is, it's really
10 a very simple model where we considered the volcanos in
11 Crater Flat and Lathrop Wells cones to be polycyclic and
12 polygenetic. If this is the case, then the next eruption
13 will be centered at one of the pre-existing centers; for
14 example, there's a pretty good high probability that the next
15 eruption will occur in or around the Lathrop Wells center.

16 I also considered the possibility that we had
17 linkage of events; that one event might occur in more than
18 one place, and that the control of the formation of a
19 volcanic chain or a volcanic cluster was related to regional
20 structure. So, these rectangles record not only the
21 direction of the structures that are adjacent to these
22 individual cones, but they also record the lengths of
23 possible volcanic chains.

24 The smaller dimension rectangle is similar in
25 dimensions to the Crater Flat chain; the larger dimension

1 rectangle is sort of a worst case scenario of the largest
2 possible volcanic chain that we've found in analog areas
3 surrounding Yucca Mountain. So, we feel like this is an
4 approach that has to be looked into in more detail, you know,
5 how can we refine models like this by looking at geologic
6 data?

7 Chuck Connor has provided some insight into this,
8 and I think that we have to try to become a bit more
9 sophisticated in the way that we define or locate these
10 target zones.

11 So, how can we do this? The definition of hazard
12 zones must take into account the structures that control
13 volcanism. I don't think there's that much agreement as to
14 whether or not volcanic rocks rising to the upper crust
15 following existing structures, or whether they are able to
16 move through rock without having any previous fractures or
17 faults. What about the formation of volcanic chains? We
18 have to take a look into the dimensions of these chains. We
19 have to understand how these chains form, and we have to
20 understand how this can be applied to the Yucca Mountain
21 area.

22 And, we also have to realize that a single volcanic
23 event may occur at more than one location. We have to take
24 into account this linkage effect.

25 So, future research, then, we have to know how

1 magma rises through the upper crust. We also have to
2 understand how important are faults. We also have to try to
3 quantify how important topography is. Bruce has mentioned
4 several times, in fact, he mentioned today that volcanos
5 normally occur in basins. This may, in fact, be true, but we
6 have to determine whether or not that occurs, let's say, 60
7 per cent of the time, 80 per cent of the time, 90 per cent of
8 the time.

9 We've done work, for example, in the Reveille Range
10 to the north of Crater Flat where we've been able to show
11 that 10 to 15 per cent of the volcanos actually occur within
12 the range, and several actually occur at the summits of the
13 range, so we have to be able to quantify this. We simply
14 can't say that volcanos preferentially form in basins. We
15 have to have some idea of, if this is true, why this occurs.
16 We have to try to quantify this.

17 We also have to know a bit more about the
18 dimensions of volcanic chains, so there's still a lot we have
19 to know before we can locate these target zones within either
20 the AMRV at the Crater Flat zone.

21 Now, in terms of consequence of eruption, I think
22 it's important to realize that cinder cone eruptions can be
23 quite explosive. The traditional view is that cinder cones
24 are erupted by either Hawaiian or Strombolian types of
25 eruption. That's the major sorts of eruptions that are

1 responsible. However, it's beginning to become apparent that
2 many cinder cones can erupt with plinian or subplinian
3 eruptive styles.

4 For example, in 1975 and 1976, Tolbachik volcano in
5 Kamchatka, which is a cinder cone, erupted in a very
6 explosive manner, and I have a couple slides just to show
7 you--if I can figure out how to turn this off--just to very
8 quickly show you what the nature of this eruption was. I'm
9 not going to go into any great detail.

10 This is the eruption of Tolbachik, and I'm not sure
11 exactly when this particular eruption occurred, but the
12 purpose of this is just to show you the very high explosivity
13 of this eruption. You're looking at a plinian or subplinian
14 cloud, a lot of turbulent convection in the cloud, and this
15 would have very profound effects on the dispersal of waste if
16 this sort of eruption were to occur through the repository.

17 And the next slide shows another example. Here's
18 the crater rim right here, and, again, you can see the high
19 degree of convective overturn in the column, a very highly
20 explosive eruption. This is very definitely not a Hawaiian
21 or a Strombolian sort of eruption. We have to try to
22 determine whether or not eruptions like this occurred in the
23 Crater Flat area, occurred at Lathrop Wells.

24 How can we go about evaluating this? We have to
25 try to determine the explosivity of an eruption. The

1 volatile contents, especially water, is a good indication of
2 the explosivity.

3 One way of looking at this is to study or analyze
4 melt inclusions, which are quenched samples of magma and
5 volatile phases, and represent, basically, the chemistry and
6 the volatile contents of the magma at the time of the
7 eruption. These melt inclusions are trapped within all of
8 the phenocrysts, not only in Crater Flat, also Lathrop Wells,
9 and they're also present in a wide variety of tectonic
10 settings, and I think the analysis of these melt inclusions
11 will provide us some indication as to the water contents of
12 the magmas at the time of their eruption.

13 Now, a recent paper in EOS by Sobolev and others,
14 where they've looked at water contents and melt inclusions
15 and olivines from a variety of different tectonic
16 environments. The MORB, both enriched and normal MORB show
17 relatively low water contents, and these are normally
18 associated, this type of rock is normally associated with the
19 relatively quiet eruptions.

20 Melt inclusions from salts, prime magnesium salts
21 in subduction zones, which can be associated with more
22 violent eruptions, normally have higher water content, so one
23 per cent or greater. The Tolbachik eruption is a subduction
24 zone-related eruption, and most probably has water contents
25 in this particular range.

1 So, we have at least some basis for what water
2 contents are in various environments, and the basic plan is
3 to look at melt inclusions at Crater Flat and Lathrop Wells,
4 compare that data with data from volcanic centers with known
5 eruptive type, and then similar volatile contents would be an
6 indication, but, of course, not proof of a similar eruptive
7 mechanism. You would have to support this with geologic data
8 in order to demonstrate this, but I think we have a way of
9 getting at, or at least of beginning to get at the water
10 contents and the explosivity of the eruptions.

11 So, in summary, then, there's still, in my mind,
12 anyway, important data required for hazard assessment studies
13 that we haven't gotten yet, we don't really understand. We
14 don't really understand how to define a volcanic event.
15 There's still a lot of debate as to what area represents the
16 target for the next eruption. Is it the risk rectangles?
17 Should we look at the AMRV? Should we look at the Crater
18 Flat zone?

19 Also, cinder cones may erupt by a more explosive
20 type of mechanism, plinian or subplinian, and this has very
21 important consequences for consequence analysis.

22 And I guess something that I'd like to leave you
23 with is that, in my mind, at least my opinion is that we
24 really have to understand the process of volcanism in a
25 better way. We have to try to factor the geology into these

1 models in a much more efficient way before we can really have
2 confidence in any of the statistical models. I think that
3 we're fooling ourselves if we simply look at the numbers and
4 don't try to factor what we see in the field into our models,
5 and I'm not going to be confident in these numbers that are
6 coming out until I see more integration of the geology into
7 the modeling that we're doing.

8 Now, that's all I have to say. I'm not sure,
9 Clarence, do you want to--

10 DR. ALLEN: Okay, thank you, Gene. Why don't we go on
11 with Dr. Ho, and then we can take questions for both of you
12 later, if that's okay.

13 DR. SMITH: Okay, sure.

14 DR. ALLEN: Dr. C.H. Ho, also of the University of
15 Nevada at Las Vegas.

16 DR. HO: It's about lunch time, and we have been bombed
17 by--almost for two days--by probabilities, probabilities and
18 probabilities. Enough is enough. I believe that if you are
19 doing the same thing for so many years, you probably get
20 tired of that, and then, certainly, this is a legitimate
21 question. And, at this moment--by the way, I forgot to ask
22 you, how are you? What is the probability that you are
23 flying today?

24 I believe that it's time to take a quiz at this
25 moment, and, especially, I would like to ask Dr. Leon Reiter

1 about what's the probability that you will pass the following
2 test?

3 So, here is the first question for the quiz. The
4 most important questions of life are, for the most part,
5 really only what?

6 (Inaudible response.)

7 DR. HO: You are right, problems of probabilities;
8 right. This is the trademark of a well-known mathematician,
9 Laplace. He was, or maybe is -- or friends.

10 My second question is: Now, ask not, it's so?
11 Ask, what?

12 (Inaudible response.)

13 DR. HO: You are right. What is the probability that it
14 is so? So, this is the trademark of JFK, okay, or we can
15 form it in this way: Ask questions deterministically, not
16 direct, but ask probabilistically. This is my second
17 question.

18 Now, again, my third question for the quiz is if I
19 randomly selected one of you standing here, and ask all of
20 you to predict what is probability that this person will ask
21 a question in a deterministical way for the remaining of his
22 life, that's the question. That's a problem. That will have
23 answer. But, what if I ask you, this person is Laplace.
24 What's your answer? The probability that he asks the
25 question in this way is about 10^{-8} . Agree? And any of you

1 certainly will be much higher than this guy. So, knowledge
2 of the historic data help you to answer the question in a
3 very rational way. Okay, so that's the test; that's quiz.

4 Now, I give you more example about the problem of
5 probabilities here. What I'm going to do, and present a case
6 study today, is the following: To quantify the possibility
7 of direct disruption of the repository by the basaltic
8 volcanism. I highlight "direct," because this talk is for
9 direct only, not indirect, and I have a typo there, because
10 I'm thinking about the money you're going to spend on the
11 repository, so I put S there. It's not correct in your
12 handout there.

13 The related issues are, as highlighted by Dr.
14 Smith, are: Modeling assumptions, eruptive history of
15 basaltic volcanism, and structural controls on basaltic
16 volcanic activity, and then the counts of volcanic events,
17 but these are not the only issues that we have problem with
18 now, but that's a major issue that relate to the talk I'm
19 going to present today.

20 The approach of basic models I'm going to present
21 here are chopped into two parts; past, and then future.
22 Using simple Poisson model for both past and future events,
23 we call HPP throughout the whole talk. And, similarly, for
24 past, if we use Weibull process and future for the simple
25 Poisson, I denote as WP-HPP, and then Weibull process

1 throughout, I use WP.

2 Now, let me give you some background about a
3 homogeneous Poisson process. Homogeneous Poisson processes
4 do not reflect and do not consider the time trend provided by
5 the times or the events throughout the observation time, and
6 the Weibull process, which is widely used in reliability
7 modeling, reflects the time trend provided by the process,
8 either increasing or decreasing, and also, this model
9 includes the simple Poisson process, so that's a
10 generalization of a simple Poisson model. It does not
11 exclude a simple Poisson model.

12 The duty of simple Poisson is just based on the
13 name, it's simple, but, overlooks the time trend, which is
14 the most important thing in modeling the volcanism at Yucca
15 Mountain. So, this shouldn't be ignored.

16 And then Weibull/Poisson is generalizing simple
17 Poisson, but not a very complicated model, so simplicity is
18 there and predictability is there, so I chose the Weibull
19 process at this moment for the modeling.

20 One of the important parameters is the probability
21 of repository disruption. What is the probability of site
22 disruption? This is given observed data of volcanic
23 eruption. What is the chance that this eruption will
24 directly hit the repository? That is defined as p . That is
25 prime in modeling the risk, and Bayesian, a table generated

1 by Bruce Crowe and others in 1993, it ranged from 1.1×10^{-3}
2 to 8×10^{-2} , and the maximum and the minimum. I use these
3 two to do simple analyses.

4 The approach for the p are, using these two values,
5 maximum and minimum, and calculating the fixed value, and we
6 call it classic approach. That means for every volcano
7 anywhere in any area, you assume that probability of site
8 eruption is a constant value. It's fixed for any one of you,
9 for every one of the volcano. The top one is a minimum one
10 generated by that table, and then the 8×10^{-2} is the
11 maximum, and the approach that are proposed here, the
12 Bayesian approach, p is a parameter, is a probability.

13 We quantify that probability by another
14 probability, probabilistic distribution, which I used here as
15 uniform, 0 to 8/75. I will explain that.

16 Now, based on this picture here, you have volcanos
17 scattered around among the area called AMRV or some other
18 names here, and now, let's look at here. The current
19 approach produced by Dr. Crowe is that assume that, okay,
20 take the area, either this one, or somewhere here, and the
21 repository's somewhere here, and take a ratio, and using this
22 one as a fixed value, but that fixed value is highly
23 sensitive to the area you pick.

24 Or, people use simulations to say, okay, this is
25 the target, let's simulate it and see how many out of how

1 many hit the target, then take a ratio. Using that approach,
2 you have to assume a model, too. This is called simulation.
3 If you run a analytic approach, you use this simulation
4 here, but either one use a fixed p , but in my case, I say,
5 okay, p , now, look at here, if this is the future eruption
6 here, the probability that that one will hit the repository
7 is what? Zero. It's zero, so if they use 1.1×10^{-2} that's
8 too high, that's too high.

9 On the other hand, if that one, that future
10 eruption is here, and the chance is what? One, right on the
11 target. There is a volcano underneath the repository.
12 That's a probability of one, so the possible values for p run
13 from zero to one. If you don't have any knowledge about a
14 structural process of volcanos, where you use a non-
15 homogeneous prior, saying that, okay, the probability is one
16 and zero to one, I don't disclaim anything between zero and
17 one, and take any value between zero and one, and use the
18 uniform zero/one prior.

19 But, if you incorporate the studies, the result of
20 Dr. Smith and others result, concentrate on a small scale of
21 volcano eruptive process, saying that, okay, if this is here,
22 then it's zero, but the maximum, the highest probability,
23 Lathrop Wells is here, so let's try. What's the highest
24 probability that somewhere here will hit the repository?

25 DR. ALLEN: Dr. Ho, please remember, you only have about

1 four minutes left.

2 DR. HO: Okay, yes, so I can start any time.

3 Okay, so based on that idea, we use A as the area
4 for upper half rectangle, and small a is what? The area for
5 repository, and take a ratio based on that scale, and saying
6 this is the upper limit, and then still use the uniform
7 distribution for that, and use another prior for the Bayesian
8 approach, and then embed that distribution into the
9 probabilistic calculation, and then, eventually that will be
10 averaged out. It's different from the approach that you pick
11 one here, pick one there, pick one there, and then later on
12 take a median, or take an average. So this is a diffusion
13 and then average out all math into the model calculations.

14 So, overall approach is model--three models, two
15 approaches, and then parameters, p , p , and then uniform zero
16 to that. So this is a summary for the models.

17 How about the data here? We don't have a great
18 information about number of events. Therefore, let's try a
19 list of class of volcanos, different counts within each
20 volcano, so let's try to say, okay, Thirsty Mesa can be one
21 to three events; Crater Flat, four to six events, and so on,
22 and consider the minimum up to maximum, unless the number of
23 counts varies and you generate so many, and then try any one
24 and see whether it matters or not.

25 And in doing so, you have to also say what you are

1 observing in time. Your data have to be accumulated up to
2 what time? Post-six million years, or just the Quaternary?
3 So I do both. And we have 90 data sets for the first one,
4 and six data sets for second one.

5 I define risk in this way, to simplify the
6 explanation here: Probability of at least one disruptive
7 event over the next 10,000 years. Ten thousand is t_0 , and
8 those are theoretical equations. It's not too difficult to
9 understand.

10 So, where's the beef here? How models and data
11 affect the calculation of volcanic risk? Is the difference
12 significant? How important is it related to future work?

13 So, recurrence rates are higher, based on the
14 Quaternary data, because we have longer lengths, and then not
15 proportionally a low number of events. The recurrence rates
16 produced by WP are higher than those HPP, showing that the
17 trend is increasing, which is not the same as produced by
18 other people here, specifically here.

19 Now, let's see. How do we interpret this result
20 here? The recurrence rate based on different data and
21 different model is summarized into this two columns of data
22 here. Now, the effects, the roles that the data play is
23 reflect by this row here. The effects that model play is
24 reflect by this column here. We see there about 42 per cent
25 of change produced by a different data set, about 32 per cent

1 of change produced by different models that we chose, but
2 those two you see are very similar, and if you want to see
3 the effect of both of them, you see the diagonal, but all of
4 them have the same order of magnitude based on the recurrence
5 rate.

6 DR. ALLEN: Could you begin to wrap up, please?

7 DR. HO: Sure.

8 So, the kind of approach using that one, either the
9 lowest one and highest one for the risk, and the Bayesian
10 approach is in between, so this is the overall picture here,
11 and you interpret exactly same way.

12 So, I will fly over everything here, and then here,
13 even though you have small data set, you can see the trend,
14 and the model pick up the trend nicely, even based on five
15 data points. Decreasing trend, simple homogeneous Poisson,
16 and then increasing trend, based on only five data set, five
17 data points, so it can be done. Is this change significant?

18 I'll give one example here, Weibull model, same
19 prior. If I include two data set, this one reflecting that
20 if there is a highly polycyclic volcanism for Lathrop Wells,
21 I include, supposedly, two. Two additional one would change
22 the probability by 43 per cent. Two more additional data
23 could increase 43 per cent.

24 So, the major results here is overall probability
25 run from here to there, automatically to two. If you

1 increase time to 10,000, you increase the probability from
2 0.02 per cent to 6.57 per cent for a range of that time.

3 Then how do you answer this question? When is
4 enough is enough? A logical question to be answered. For
5 example, are those two probabilities both acceptable? Is the
6 difference significant? If someone came to me and said, I
7 don't understand this two probability. What do we mean by
8 .02 and 6.57 per cent? You can compare it to the rate for
9 your income tax, you understand.

10 And over here, again, I use 0,8 over 75 for the
11 prior, which is now former to prior, but we try and say,
12 okay, we don't take care of the geology. Let's assume that a
13 uniform 0,1. Fine. Use uniform 0,1, and then your
14 probability calculation would change 816 per cent.

15 People have to answer this question: Which one is
16 the right one? If you don't believe something, which makes
17 sense?

18 DR. ALLEN: We've simply got to finish up here very
19 quickly.

20 DR. HO: Two more, please, yeah. See, my mind is like a
21 parachute, that it work best when it's open.

22 If you had to choose the approach, you also have a
23 lot of problems. You have to dilute the effect, compounded
24 by among those three; power, mystery, and the volcano. We
25 have plenty of examples showing that what we are doing is

1 deadly science. Volcanology is tragically imprecise.

2 I thank you for your patience.

3 DR. ALLEN: Okay. Thank you, Dr. Ho.

4 We're into the lunch period here, but let me just
5 ask if there are any quick comments or questions by our
6 people, particularly our consultants?

7 DR. SHERIDAN: One question that I might resolve,
8 because it appears that a very important element of this
9 presentation was the identification of the high-risk zone,
10 which has a particular geometry which seems to be highly
11 deterministic.

12 I would like you to tell me, what is the
13 probability that the high risks that the geometry and
14 location of the high-risk zone is correct?

15 DR. SMITH: All I can say is that, geologically, it
16 makes considerable sense. I can't give you a number, saying
17 that it's correct to a certain--it's 60 per cent correct or
18 80 per cent correct, but it makes sense in terms of the
19 structure, makes sense in terms of the links of volcanic
20 chains, not only in the Crater Flat area, but in adjacent
21 areas. I think that we've sort of placed the bounds on the
22 longest possible chains and reasonable chains in the area.

23 We know that these volcanos produce chains. We
24 know they produce clusters, and I think that the fact that
25 Crater Flat volcanos are oriented in a northeast direction,

1 and that we've shown that there currently is linkage between
2 Red Cone and Black Cone, and we had two events occurring in a
3 northeast orientation, two events occurring at the same time,
4 oriented with respect to one another, oriented in a northeast
5 direction, I think that, geologically, it makes sense. I
6 can't answer your question about probability.

7 DR. SHERIDAN: Let me just explain why this is
8 important, because if your angle of this trend were changed
9 by just five degrees or ten degrees--I don't know what it
10 would be--it would mean that your high-risk zone would
11 exactly miss the repository, and your calculations would show
12 probabilities that are extremely low.

13 DR. SMITH: I try to be as conservative as possible in
14 terms of choosing the dimensions of those zones.

15 DR. SHERIDAN: I mean the angle of the zone, rather
16 than--starting from Lathrop--

17 DR. SMITH: Yeah. The angle of the zone is based on the
18 orientations of faults that are adjacent to the volcano. I
19 mean, you can quibble about the angle if you wish, but the
20 width of the zone is also critical. I mean, if you change
21 the angle by one degree and make the zone a little bit wider,
22 then it won't, you know, the zones are based on analogs,
23 analog studies, and you can quibble about whether they should
24 be a kilometer wide or kilometer point two wide or what. I
25 try to do my best to come up with a conservative estimate for

1 the size of the zone, and you can disagree, saying, you know,
2 that the angle should be one degree to the east or one degree
3 to the west. I can't argue with that.

4 DR. SHERIDAN: What I'm really saying is that you should
5 indicate what the sensitivity or range of these values would
6 be, and how they would affect your probabilities. I think it
7 would increase the strength of your argument.

8 DR. ALLEN: Okay, any other--excuse me.

9 DR. HO: I have a comment on Dr. Sheridan's question
10 here. This is very good question here. This is a point
11 that, for example, those qualified geologists have to answer,
12 whether we should direct it in this way or that way. So far,
13 all I see is that way. If we have a convincing case, we'll
14 probably go that way. If we don't have anything, we will
15 pick the non-informant prior, saying it's zero to one, and
16 nobody will say this is wrong, because that's a legitimate
17 value for everything, and then the probability will go 800
18 and something higher per cent; higher.

19 So, it's indication of more fissure work is
20 required, geologically speaking. The tool of statistics and
21 probability approach are ready, but are volcanology ready for
22 this kind of tool to go incorporate into the probability
23 calculations?

24 DR. ALLEN: Okay, thank you. I think we just have to
25 call it quits, partly because we do not have the opportunity

1 this afternoon to go beyond four o'clock. We must cut it off
2 at four o'clock because many of our people are leaving, so
3 thank you, Dr. Ho, and thank you, Dr. Smith.

4 We'll adjourn for lunch, and we'll reconvene in an
5 hour and five minutes, at one-fifteen.

6 (Whereupon, a lunch recess was taken.)

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 AFTERNOON SESSION

2 DR. ALLEN: Can we get going on the afternoon session,
3 please?

4 Okay. Our first speaker this afternoon is Peter
5 Wallmann, who's a senior geologist with Golder Associates in
6 Redmond, Washington, and he'll be presenting material on
7 sensitivity studies on volcanic hazard at Yucca Mountain.

8 Peter?

9 DR. WALLMANN: Thank you. I'd like to thank you for
10 this opportunity to speak with you today, and one of the
11 things that I think I want to try to get across first, is I
12 actually feel, as a fairly independent person here--I work
13 for neither DOE nor Los Alamos nor the NRC nor the Center.

14 DR. ALLEN: Why are you here?

15 (Laughter.)

16 DR. WALLMANN: Because I guess I've developed
17 connections somewhere along the line. Unfortunately for my
18 company, I'm working for no one on this project at the
19 moment, and so, the viewpoints that I've arrived at, I think,
20 have really been independent of the other groups. Now, they
21 may concur with some of those in the other groups, but I
22 think it's really pretty much an independent--they've been
23 arrived at independently.

24 Now, you've heard a lot about volcanic disruptive
25 events. We have: How frequently does an event occur, which

1 has been given the designation of E1, the event rate, number
2 of events per year. Does an event disrupt the repository?
3 The disruption probability. Given an event, how frequently
4 will it disrupt the repository? The disruptive event can
5 rather, in a very simple-minded way, simply be taken as a
6 product of that. Given this disruptive event rate, then, one
7 must consider the consequences of disruption of the
8 repository.

9 Now, on the left here is a schematic map taken from
10 the status report, with three different "structural models"
11 displayed on it, as well as the repository. You have a
12 region which will be used as the simulation region for the
13 Crater Flats volcanic zone, simulation region extending off
14 the chart an equal distance to the southwest as it does to
15 the northeast, which I think is an extremely important point
16 of what I have called the Lathrop Wells rectangle proposed by
17 Gene Smith and his co-authors, and the Area of Most Recent
18 Volcanism, also proposed by Gene Smith and his co-authors.

19 Now, what I'm going to speak about today is simply
20 the disruptive probability. At least, those are the results
21 that I will present, but I will also show how those impact
22 on--how the choice of one of these models has an impact, or
23 should have an impact on your E1 calculations.

24 Consequently, I'm going to put up my conclusions
25 first, not because I'm going to finish, but just so--these

1 are some of the conclusions that I would draw.

2 One of them we will see is that the sensitivity of
3 disruptive probability is dependent on the model that is
4 chosen. Now, if we think about this in a very logical
5 manner, this is not very surprising. Two of these models
6 actually contain the repository block in the model region
7 within which future events will occur. One of the regions
8 does not contain the repository block. It seems very logical
9 to assume that this Crater Flat volcanic zone will behave
10 very differently in a parametric sense than the other two
11 regions.

12 Second, I will show some results of some simple
13 clustering models, and contend that clustering, in and of
14 itself, does not increase disruptive probability.

15 The final, and perhaps most important conclusion of
16 this portion of the talk is that the event rate--I say here
17 it is essential--I would say must be recalculated based on
18 which model you choose. You can't have your cake and eat it,
19 too. You can't calculate a high event rate based on a large
20 region, and then stuff that event rate into a small
21 rectangle.

22 What I've done here, I've used a discrete fracture
23 generation program called FracMan, which was developed by
24 Golder Associates for doing discrete feature or fracture
25 analysis and generation. It has been used, and successfully

1 used, in fluid flow, fracture flow modeling at the Stripa and
2 Aspo sites in Sweden, at the Kamaishi Mine test facility in
3 Japan, and it has been used some at Yucca Mountain, as it
4 relates to fractures and fracture networks.

5 The program contains multiple distributions for
6 fracture radius and orientation--that's very general--and
7 multiple models for spatial distribution of fracture centers.

8 For the model simulations, here are some of the
9 important points: Because of the way that the model
10 generates fractures, and, also, for a mechanistic reason
11 which I will get to, each point that is selected as a point
12 for generating a fracture, which I call the initiation point,
13 each fracture generated from that point represents two dikes
14 propagating in opposite directions.

15 When we look at stress fields and fracture fault
16 orientations, there is a good body of knowledge which
17 indicates that dikes will tend to propagate as opening mode
18 fractures along, parallel to the greatest compressive stress,
19 but, the trick is, we don't--well, so while we know the
20 strength in which a dike will propagate, we may not know the
21 trend in which it will propagate. Will it propagate to the
22 northeast, in this direction, or will it propagate to the
23 southwest? So, in my models, for each point, I have a dike
24 propagating, in essence, each direction, so that I remove
25 what I feel is a potential source of bias, in biasing all the

1 features to propagate toward the repository or in a certain
2 direction.

3 At this point, I have simply used distribution
4 models, which lead to a Poisson distribution of the
5 initiation points. This can be overcome. There are other
6 models I could choose from, and for the cluster models, I did
7 choose one which leads to clustering. But, for this set of
8 models, I did use a Poisson distribution.

9 Then, for each set of model parameters, ten
10 realizations of 10,000 fractures simulating 200,000 dikes
11 were performed, and we sampled each of these networks to see
12 how many features intersected the repository block.

13 By the way, I should point out, this is a three-
14 dimensional model, it is not two-dimensional. Each of these
15 model regions, each of these simulation regions extends down
16 three kilometers, so there is a volume within which these
17 dikes can be thought of as initiating and propagating. It is
18 not a mechanistic model. I do not mechanistically model the
19 propagation of the dike.

20 What I show here are just what I refer to as my
21 base case parameters. For dike orientation, the mean pole,
22 or the normal to the plane is 110 degrees and 0, so that my
23 planes have a strike, if I can do 20 degrees, of about this
24 orientation, a mean strike, for the base case, of about this
25 orientation.

1 There is a standard deviation of trend of 20
2 degrees, and plunge of 10 degrees. You will see some results
3 vary in these parameters, and see how sensitive the different
4 structural models are to varying these parameters.

5 Dike length, remembering that this is, then, the
6 total length of one of these fractures, or twice the dike
7 length, is a uniform distribution with a mean of 7500 meters,
8 and a maximum deviation of 6500. This would lead to features
9 which would range uniformly from 500 meters to 7 kilometers.

10 As the dike height--remember, it's how high is my
11 feature--for the base case, the mean is 1500 meters, and the
12 maximum deviation is 500 meters.

13 DR. ALLEN: Excuse me. Where did this 110 degrees come
14 from?

15 DR. WALLMANN: It's based more or less on what I could
16 find on the regional--on the stresses at the site, that the
17 maximum compression is about 110. It is varied, and you'll
18 see the--it is a parameter which is varied throughout the
19 study and you can see the variance, so, if you like, a strike
20 of north 10 degrees east, you will see the results for that,
21 also.

22 I would also, I guess I would say these are, in a
23 sense, have I covered all the bases? No. Could these things
24 be revised? Yes, they could, but I think we'll see, from the
25 sensitivity of certain models to some parameters, that

1 they're not all that sensitive.

2 Just so people can get a bit of a feeling for the
3 orientation distribution, this is the Bivariate normal
4 distribution for the base case, so here is our mean, and
5 standard deviation in the trend of 20 degrees, and 10 degrees
6 in the plunge, so there can be a fair amount of variance
7 there, but the major locations will be here, and varying the
8 standard deviation for both trend and plunge is also done.

9 Looking at some results for the Area of Most Recent
10 Volcanism, now, for each of these cases, I have normalized,
11 for display purposes, to the base case for each model. So,
12 the Area of Most Recent Volcanism, the Crater Flat volcanic
13 zone, and the Lathrop Wells rectangle are normalized to their
14 own base case, and this is so that, in displaying the
15 results, we're sort of comparing apples to apples and oranges
16 to oranges.

17 What we see, one, is there's not a whole lot of
18 variance from about .8, a little above .8, to less than 1.1.
19 Oh, I should have--excuse me--pointed out that this is for
20 varying the strike standard deviation, so here, our base case
21 is this model right here, with a mean strike of north 20
22 degrees east, and a standard deviation of that strike of 20
23 degrees. This would be for a constant orientation, and north
24 10 degrees, 20, 30, and 40.

25 And what we see from the Area of Most Recent

1 Volcanism, generally speaking, increasing the mean, or the
2 strike, the orientation, leads to a subtle increase for each
3 of the standard deviations. Increasing the standard
4 deviation in one case leads to a decrease in the disruptive
5 probability; in another case here, leads to an increase.

6 If we look at the Lathrop Wells rectangle model, we
7 see somewhat different results. One thing that is the same
8 is for the mean for sort of the base case strike of the
9 features, we get a decrease for increasing standard
10 deviation, but in each of these models, as we vary the mean
11 strike, we tend to peak out somewhere right here, around
12 north 20 degrees east for each of the strike standard
13 deviations. And notice, again, too, that we don't have big
14 variations from about .8 to about 1.1 in the normalized
15 disruptive probability.

16 If we look at the Crater Flat volcanic zone model,
17 here we see some very significant variability in the results,
18 from less than .4, to almost 1.5, depending on the
19 orientation, the mean orientation, and even as we increase
20 the strike--and as we increase the strike standard deviation
21 for the north case, we get a rather large increase in the
22 probability of disruption, a decrease for north 20, and a
23 decrease for north 40.

24 If we look at the standard deviation, we see that
25 we increase the probability for any of the standard

1 deviations as we move the mean strike more and more to the
2 east.

3 Now, to display these all together, the different
4 models, you have to kind of look at each line separately.
5 So, here, if we look at the strike variation, where the
6 triangles are the Area of Most Recent Volcanism, the diamonds
7 are the Lathrop Wells rectangle, and the Crater Flat volcanic
8 zone are the squares, really, the largest variation is for
9 the Crater Flat volcanic zone, but would we say this is a
10 really significant parameter?

11 The variation in result is only from about .95 or
12 so for the Crater Flat volcanic zone on the low end, to about
13 1.15. The variation in dip is even less significant.
14 Basically, changing the dip leads to very small changes in
15 the normalized disruptive probability.

16 And, I had to make a bit of a change. As I was
17 looking at this, I discovered that the wrong row got plotted
18 here. The Lathrop Wells rectangle should be this other line
19 drawn in here, and now, when we look at the mean POLE
20 variation, we see this very large change.

21 I should say--excuse me, I didn't point this out--
22 for each of these plots, the only parameter which is varied
23 is the one which is being plotted, so everything else is the
24 base case; length, height, in this case, standard deviation
25 of the trend and plunge of the POLE, or strike and dip. So,

1 the only parameter which is varied here is the mean POLE, and
2 I think we would go ahead and say in this case that for the
3 Crater Flat volcanic zone, the mean POLE for a dike
4 distribution is a very significant parameter, probably the
5 first one which we've seen so far which is significant for
6 any of the different models.

7 Height variation, they almost plot right on top of
8 each other, and I suspect that a very good argument would be
9 made that these are all within the statistical significance.
10 This is just one line. Basically, the effect we see here is
11 that of fracture intensity.

12 As you increase the intensity of features within
13 the region, you will increase the probability of intercepting
14 any feature, and if intensity is considered as the area of
15 dikes or fractures to the volume of the region, as we
16 increase the mean in this uniform distribution for height, as
17 we increase the mean for a set number of fractures, we will
18 increase the intensity, the area of features. So, this is to
19 be very much expected, that height should lead to an increase
20 in the disruptive probability for all of the models.

21 Length, we see it's still important, but it's,
22 again, more important for the Crater Flat volcanic zone, the
23 one which does not contain the repository within the
24 simulation region, than for the other models.

25 I'm going to skip over the distribution variation,

1 which simply says that choosing different distributional
2 models for your dike length can lead to different results,
3 and that may be a--that is possibly a significant parameter,
4 although one which would be very difficult to obtain.

5 These are the results of a number for the Area of
6 Most Recent Volcanism, number of models, one with a
7 Poissonian distribution, and then models where this number
8 here, .25, .5, refers to a coefficient in a clustering model,
9 where, as you increase the coefficient, you increase the
10 degree of clustering, and we see some variation in the means.

11 I've talked with other people in the office about
12 this apparent cycle here, and we aren't quite sure what to
13 make of that, but what I feel is the important thing is to
14 look at the range which we see here. The range for all of
15 these, basically, the range of results for any given model
16 covers the mean of the other models.

17 Another set of simulations, with a slightly
18 different set of parameters, some the same, some different,
19 and a smaller number of simulations shows very much the same
20 thing, that we do get--perhaps the mean in these cluster
21 models is elevated here from just over 5 to about 7, but the
22 range of results more than spans the range of all of the
23 means.

24 I believe this suggests that if you don't have a
25 mechanistic model for clustering near an area, near the

1 repository, if you just allow clusters to occur wherever
2 they may occur in space, that clustering, in and of itself,
3 does not lead to an increase in the disruptive probability.

4 I think, intuitively, we can see that if we allow
5 clusters to occur up near Sleeping Butte. The best thing for
6 the program would be to prove that volcanos will cluster
7 here. If they cluster up here, we're not going to worry
8 about their effect down here. So, lacking a mechanistic
9 model for the distribution of the clusters, I think
10 clustering, in and of itself, will not lead to an increase in
11 the disruptive probability.

12 Now, I'm going to show the range of all the results
13 on both a log scale and an arithmetic scale, so that no one
14 can accuse me of wanting to skew my distributions wherever
15 they may. We all know what fun games one can play with log
16 scales.

17 And, here you see the range, Area of Most Recent
18 Volcanism, Lathrop Wells rectangle, Crater Flat volcanic
19 zone, and these are now the absolutes, probability of
20 disruption; given a volcanic event, the probability of
21 disruption in the repository, and the range of results taken
22 from the table, the appropriate table in the status report,
23 the same on both sides.

24 Now, we look at this, and we say, "Wow, the Lathrop
25 Wells rectangle leads to a much greater probability of

1 disruption." Again, I propose that that's intuitively
2 obvious. It has the smallest area to be considered. That's
3 what's going to happen.

4 But, what I'd like to point out is that if we
5 choose this as our structural model, we have left out quite a
6 number of points to consider in the rate calculation. Over
7 the last 3.7 million years, based on one of the tables in the
8 status report, and on a larger version of a map which Bruce
9 sent to me, I find there are one, maybe two events in this
10 rectangle within that time period, as opposed to up to 20 in
11 the entire region.

12 If you want to choose this for your structural
13 model, I do not believe that you can calculate the event rate
14 based on all of the other events, and what happens if we re-
15 calculate E1, based on the structural model. And, again, I
16 show these both for--

17 DR. ALLEN: You have two more minutes, please.

18 DR. WALLMANN: Okay. I show these for both arithmetic
19 scale and log scale. On the bottom, we have the results if
20 you do not re-calculate E1. On the top, in the fields, what
21 happens if you do re-calculate E1, and for these
22 calculations, I just chose a very simple--I took the number
23 of events over the time, just to get a reasonable estimate of
24 the mean rate. I did not want to enter into the homogeneous
25 versus non-homogeneous issue for this, just to display a

1 point.

2 The point is, that for both the Crater Flat
3 volcanic zone and the Area of Most Recent Volcanism, you
4 don't really --you don't shift the curves too much. They do
5 shift down, but if you look at the Lathrop Wells rectangle,
6 where it had such a large probability of disruption, if we
7 are consistent, and then re-calculate the event rate based on
8 that structural model, we see that there is a very large
9 change in the disruptive probability, and that, in fact,
10 rather than being the most disruptive, this display in the
11 minimum, mean, and maximum ranges of the E2 values, which I
12 calculated, we find that the Area of Most Recent Volcanism
13 becomes the most disruptive.

14 And, since there has been a lot of talk about the
15 effect of volcanism, I would just like to show people that
16 calculations such as this can and have been done for a total
17 system model for Yucca Mountain. Is the consequence model
18 perfect? No, it's not perfect. It could certainly stand
19 additional scrutiny and more work.

20 On the left, we see there are no volcanic events in
21 this block, and there are 47 out of the 500 realizations had
22 volcanic events in this block, and if you're looking at them
23 trying to figure out if they're different, I'll help you.
24 They are plotted on the same scale, and one has to do this
25 very precisely; otherwise, you can mislead yourself, and you

1 can see that they are functionally the same.

2 Is this the end of the question? No. But I think
3 it shows that we have the capability of doing total system
4 performance models, which include, in any way we would like
5 to describe, the volcanism. These also include seismic
6 events. This could be updated to the most appropriate model,
7 indirect effects, raising the water table, increasing the
8 hydrologic gradient. All these things can be factored in,
9 and, to date, with the limited simulations which we have done
10 at Golder, we have not seen either of these seismic or
11 volcanic to be a significant perturbation of the system.

12 DR. ALLEN: Thank you, Peter.

13 Do we have comments or questions from the Board or
14 from consultants, or from staff?

15 DR. REITER: Peter, I think that you made a very wise
16 point about that if you're changing the zone, you have to
17 look at E1, but, similarly, is it appropriate to use the same
18 time period? In other words, if you look only at--as far as
19 I can understand--3.7 million years covers the area of
20 events, the whole area, so by just looking at, let's say, the
21 last million years, or the last 100,000 years, that might
22 cause the probability to go up again.

23 DR. WALLMANN: It certainly would. I mean, that's--

24 DR. REITER: So how do you choose which is the proper
25 period to look at?

1 DR. WALLMANN: No, I can't fall back on that, but it
2 really does. I don't know who it was that said that, but it
3 does, I think, come down to some sort of decision on an
4 expert's part. I mean, that is a classic example of why some
5 sort of convergence needs to be achieved.

6 If DOE is going to choose 3.7 million years, and
7 NRC says, no, it's one million, and neither budges, then
8 you're at an impasse, unless you can show--and some of the
9 simulations we have done, we had disruptive probabilities of
10 2.5×10^{-6} . That is an order of magnitude greater than those
11 proposed by DOE, and we, again, saw--we had a range they
12 could vary between about 1×10^{-8} to 2.5×10^{-6} . We saw no
13 effect.

14 So, I am not convinced that, even if you increase
15 that event rate, that it will impact significantly the total
16 performance of the repository. I think the key here is what
17 are reasonable consequences. That could be a very difficult
18 question to answer, but raising the event, in and of itself,
19 does you very little, remembering that we have this
20 disruptive probability, also. So if you add ten new events
21 in the region, that doesn't mean that you have ten new
22 intersections in the repository. It means that you maybe
23 have to have 100 or 1,000 new events before you get an
24 additional intersection in the repository.

25 DR. ALLEN: Other questions or comments?

1 (No audible response.)

2 DR. ALLEN: Okay. Thank you, Peter.

3 We'll go on to the final presentation before the
4 round table, by Mike Sheridan, who is Chairman and Professor
5 of Geology at State University of New York at Buffalo. He'll
6 be making general comments on PVHA.

7 DR. SHERIDAN: I was asked by Leon Reiter to answer some
8 specific questions which I felt were somewhat ponderous at
9 the beginning of this task, but as I see the way we've
10 progressed today, I think a lot of these questions have been
11 either answered, or at least raised to individuals for
12 consideration. So, I had felt that I might have to have
13 taken very accurate notes and make comments on various
14 presenters' presentations, but I'm not going to do that, and
15 that's certainly going to save some time in this
16 presentation.

17 The questions I would like to address are related,
18 or at least, they're not even going to be questions. I'm
19 going to discuss some aspects of geological perspectives on
20 volcanic hazard assessment, probabilistic or not, and to
21 present some basic elements for what we could call good
22 probabilistic volcanic hazard assessment.

23 I'd like to give some examples of how volcanic
24 hazard forecasting has been traditionally done in the
25 geological literature, and maybe there's some surprises in

1 that particular slide. We'll see; maybe not.

2 I was asked to comment on deterministic versus
3 probabilistic methodologies, and I didn't know, really, what
4 that meant when I read it, so I put down methods, and I think
5 I probably won't even say anything about that issue.

6 And then, relevant to Yucca Mountain. Before
7 coming to this meeting, I had listed a number of items I felt
8 were important relative to Yucca Mountain. I've done some
9 more thinking about that. During the presentation, I'll say
10 something there, and probably, I won't really comment on work
11 presented here, and leave that for the workshop session, in
12 case the general discussion round table, in case there are
13 some questions, or maybe there'll be questions from the floor
14 related to that.

15 A lot of these items have come up in this afternoon
16 regarding the geological perspectives that are relevant to
17 probabilistic hazard forecasting, and the key questions--and
18 some of these haven't been answered, by the way--what, is the
19 first question. What are we trying to predict? What may
20 happen? And that means the type of event to be expected, and
21 I think there might be still some room for discussion and
22 refinement of our vision of what might happen.

23 The question of when. Maybe this is this E1, this
24 elusive E1 that's out there. I would again say it's a repose
25 frequency, probably, or the time until the next expected

1 event. That's another type of when. They're slightly
2 different.

3 Where? A very important question. This is not an
4 exciting volcano. I used my spell checker when I put this
5 together, and it--

6 DR. ALLEN: That's the one in Kamchatka?

7 DR. SHERIDAN: That would be exciting, yes.

8 The size. A question that really hasn't been
9 addressed at this meeting is the size of the expected events,
10 or the probable size distribution of the events. It's
11 something that is, I think, a very important issue and should
12 be addressed, and then the anticipated effects or the
13 vulnerability is a very important aspect to this particular
14 case.

15 Let's take a look at some more aspects related to
16 this geological perspective, and I think one of the
17 questions--one important question is the mass eruptive rate,
18 which would be equivalent to the energy release rate, since
19 most of the energy of a volcanic eruption is thermal energy,
20 and this depends on the temperature of the magma evolved, and
21 an important aspect of constructing the geological component
22 is to have some controls on the mass eruption rate, and the
23 mass eruption rate may or may not be constant with time. If
24 it's not constant, is it decreasing or increasing, and what
25 do we expect? What is the size of the next probable batch of

1 magma that may make it to the surface?

2 An important concept, also, is the survivor
3 function, which is the probability that a repose has ended
4 after a specific amount of time. It's a probability function
5 for repose periods, and the age-specific eruptive rate, which
6 would be the probability function for an event occurring, and
7 then the spatial event predictors.

8 Now, it's possible to consider these functions--all
9 of them are important--as independent functions, and,
10 essentially, stochastic, or we could consider them to be
11 interdependent to various degrees, and I think, as a matter
12 of fact, that they are somewhat dependent; that the size of
13 the next eruption at a volcano--quite characteristically, in
14 many volcanos--depends on the repose period, and for those
15 volcanos, that could be tied to specific models of magma
16 generation, delivery to the surface, repose in a chamber and
17 tectonic events that occur.

18 This type of conceptual model, I think, is
19 something very important and something that still needs to be
20 developed for the Yucca Mountain site, because we don't have
21 a clear idea of where this magma is being generated, in what
22 size batches, how this is moving towards the surface, how
23 much of the magma freezes as it moves towards the surface,
24 and, ultimately, what fraction of the magma generated comes
25 out at the surface. These would be useful bits of

1 information.

2 I want to define some of these terms, and I'm going
3 to give you a different definition that was put together by
4 Wickman in 1965. This is one of the first studies,
5 probabilistic studies conducted on volcanos, and, at this
6 time, Wickman used the data from a catalog of active
7 volcanos. He looked at lots of volcanos. In fact, he looked
8 at all of the volcanos for which there was a record, in which
9 he could identify the event. And, actually, if you're
10 concerned about the definition of event, take a look at his
11 first paper in the series, because he does identify event
12 quite specifically.

13 The survivor function can be identified in terms of
14 event, in terms of these repose periods, and the probability
15 of a repose larger than a certain time period, and I'll show
16 you how he applied these. He actually was very practical and
17 did graphical solutions to these, and the age-specific
18 eruption rate is related to these events.

19 Now, before I get into using some of Wickman's
20 examples, I wanted to get on to another question that was
21 asked about elements of good PVHA. I think that Kevin
22 Coppersmith actually covered this in great detail, and
23 spelled out many of these items.

24 I think what is a very important aspect, from going
25 back to the geological characterization, is to actually

1 define the problem very carefully, and then to be able to
2 test if the problem is defined in terms of some conceptual
3 model, so to be able to test those various models, and as I
4 was listening to presentations and these probabilities of 10^{-3} ,
5 10^{-4} , 10^{-6} , very difficult, it's very difficult for the
6 general public to be able to conceptualize these sorts of
7 probabilities, and I think it's useful at some stage in
8 defining this problem to break the probabilistic analysis
9 down into components that can be categorized on a scale of
10 one to ten, like the weather forecast; two chances out of ten
11 that it's going to rain. That's something that people can
12 understand, but if you say the probability of rain is 10^{-4} ,
13 it's very difficult for people to understand that.

14 And, to break the problem into these small
15 elements, whereby even judgment decisions can be made, say,
16 there's a 50/50 chance, I think those sorts of estimates are
17 probably good at this level.

18 I have down here, set the limits of acceptability,
19 and I think I put that down there because I was very much
20 concerned that we don't really know what is acceptable or
21 unacceptable, but now I think I would draw a line through set
22 the limits of acceptability and say that's not really in the
23 realm of the people who are developing the probabilistic
24 analysis. We better take that one off, but that's in the
25 realm of the policy makers and the decision makers to set

1 these limits, so I think I would take that out.

2 And this identify the key processes, parameters,
3 and the uncertainties associated with those, and I think, in
4 these models, there must be multiple processes and sources of
5 parameters. The parameters can be deterministic or
6 probabilistic, and for, getting on to the next one, include
7 all of the possibilities in the model, or maybe most of the
8 possibilities. At least the model should be quite inclusive.
9 I would say the basic elements of a good probabilistic
10 model, it should be inclusive of many different ideas.

11 These processes should be arranged in this
12 probabilistic model according to interdependencies. It would
13 be useful to have feedback mechanisms in the PVHA so that we
14 could take into account multiple events, or changing
15 scenarios that would then have a feedback in the progression
16 of probabilities through this type of system.

17 Of course, we should be able to perform sensitivity
18 studies on the parameters, and many people have mentioned
19 that today, and I think we've come a long way in this. I
20 think that the analyses we've seen for Yucca Mountain, many
21 of the presenters have shown the sensitivity studies related
22 to their probability functions, which I think is something
23 that's relatively new, and it's an important improvement.

24 And we should look at the interactive effects of
25 all elements on the model, and what do I mean by all

1 elements? Well, I think by all elements, I mean, also, the
2 tectonic regime, and how do we expect the tectonic regime to
3 change with time. What about the climate? Is there a
4 relationship between climate and volcanism?

5 Well, I think if we're talking about
6 hydrovolcanism, there may very well be an interrelationship
7 of climate with volcanism, so we should pay attention to
8 these factors. If, indeed, we go into another pluvial
9 period, there will be more water around in the near surface
10 that could interact with the volcano, making more explosive
11 volcanism prominent, if not otherwise.

12 What about the relationship between seismicity and
13 volcanism, or volcanism and seismicity? Is there some sort
14 of linkage? Well, let's at least look at the interactive
15 nature in these effects, determine the sensitivity, total
16 model sensitivity to these sorts of parameters, and either
17 include them or exclude them, or regroup them according to
18 our needs.

19 Now, I want to present some examples of probability
20 studies done on various volcanos, and I'm afraid that the
21 volcanos I'm going to show are not small-volume basaltic
22 fields, but they represent mainly central volcanos that have
23 a long record, and one of the recommendations that Wickman
24 used in his--one of the criteria, at least, that he used in
25 his analysis was that there should be at least 60 events to

1 be looked at.

2 And, in this case, he shows the number of events,
3 and then this repose time on the horizontal axis, and he
4 ranks these, re-sorts them, assumes they're stochastic, so
5 that one event doesn't really depend on the preceding event,
6 and ranks them in order, and then draws this line, which is
7 the probability--it's not a probability function. It's a
8 function showing the relationship of the number of--just
9 essentially a histogram showing the number versus the time,
10 but the slope of that gives this event a specific eruption
11 rate.

12 And, for this volcano, there apparently are two
13 slopes, a slope here and a slope below, and these show up as
14 these two horizontal lines, indicating that the volcano seems
15 to have two types of activity, and it has four relatively
16 short repose periods. It has a fairly high eruption rate,
17 and--has a higher eruption rate, let's put it that way, and
18 for long repose periods, it has a shorter eruption rate.

19 Another way that we could look at volcanos is in
20 the cumulative volume erupted, and this tells us something
21 about the energy release at volcanos, and we're looking at a
22 somewhat longer period of time. Perhaps you could see that
23 the period of time Wickman was looking at was a 60-year
24 period. Here, for Oshima Volcano--Oshima's just outside of
25 Tokyo--the period from the year 2000 down to the year 500,

1 it's about a 1500-year period of record at that volcano where
2 volume estimates can be made, and it's a more or less linear
3 trend. That volcano is erupting in essentially a steady-
4 state condition over that period of time.

5 This is data from Wadge, and he's done a lot of
6 work on probabilistic analysis, including a recent article
7 that has just come out this year, showing spatial
8 distribution and predicting probable eruptions in the future
9 at Mount Etna.

10 Now, in this case, we're looking at Kaimon-Dake,
11 another Japanese volcano, for which a record goes back some
12 4,000 years, and, in this case, we're getting closer to our
13 10,000-year time framework.

14 For Kaimon-Dake, the overall mass eruption rate for
15 the volcano could be seen as a line, but there seem to be
16 periods of activity, and other periods of relative quiet, and
17 then a spurt of activity, and maybe quiet, or something
18 intermediate, and for this type of volcano, it's possible to
19 construct a Markov type of model, and the eruption rate could
20 then be dependent on the state that the volcano is in, and
21 you could list the condition that maybe it would go to
22 another state.

23 Another person who has worked on volcanic hazard
24 assessment is Scandone. He is at the Volcanological
25 Observatory in Naples. He looked at a long-term volcanic

1 hazard assessment for some very active volcanos in Mexico,
2 and determined, say, the number of events per year on these
3 volcanos, and, actually, Colima Volcano is the most active
4 volcano in Mexico. It's considered to be the most dangerous
5 volcano in Mexico. It's actually active right now, and it's
6 a volcano that is close to my heart, and also to Chuck
7 Connor's heart, and you can see what sort of rates, event
8 rates we get for those kind of volcanos.

9 And, I think it's important for the Yucca Mountain
10 study to examine this event rate for very active areas, and
11 moderately active areas, and low active areas to get an idea
12 of what is the global range of eruption rates, and there's
13 data out there. I don't think it would take a lot of time to
14 do that, but it would be worthwhile to incorporate those into
15 considerations.

16 Scandone also looked at volcanic fields in regions,
17 and he made some estimates of eruption rates in these areas.
18 For example, for the Mexican volcanic belt, trans-Mexican
19 volcanic belt, he made some estimates at rates, and, let's
20 see, Chichinautzin is just above Unam in Mexico City. That
21 erupted during historic times, or at least pre-conquest
22 times, and a number here is 236 divided by--well, it looks
23 like there's an extra zero there. That should be 700,000,
24 and what this is, over a period of 700,000 years, nearly a
25 million years, there were 236 events, and I think these are

1 taken to be scoria cone, so that they might be one event, or
2 they might be many events, but, at any rate, it's sort of an
3 estimate.

4 He estimated, then, activities based on number of
5 cones over a number of period of time, and we see here that a
6 rate for that particular volcanic field was like 3×10^{-4} for
7 events in a pretty active area.

8 And here's another one, Tlapacaya. In that case,
9 there were only 12 events in 23,000 years, and he made some
10 estimates, so there is some precedent for making these kinds
11 of estimates over large areas.

12 Now, in terms of methods for Probabilistic Volcanic
13 Hazard Assessment, there are many sorts of methods, and we've
14 seen a few things presented, but I'd like to say that I think
15 that the logic tree has a real advantage in this type of an
16 analysis, and I think the first thing is, it can incorporate-
17 -it says here, "applied to a wide range of problems." You
18 can incorporate a large number of models as nodes with
19 different probabilities, from even deterministic
20 calculations, but given probabilities of those on various
21 nodes.

22 It can analyze sources of uncertainty, and it can
23 accommodate interpretations with uncertainties, and the
24 uncertainties can be passed on through in the analysis. It
25 can also use probabilities from expert judgments, and it can

1 incorporate extreme interpretations by assigning various
2 levels of probability to those, and feedback between nodes is
3 possible. So, I would say this is one method that--and it
4 looks to me like this is a method that will be used in the
5 analysis of Yucca Mountain.

6 Now, these are issues that I put together before
7 coming to the meeting, and, possibly, they should be
8 amplified to some degree here, or changed.

9 First of all, the vulnerability problem. There are
10 lots of questions related to vulnerability, and one of them
11 is: What is the minimum sized event that would present an
12 unacceptable safety hazard? Very difficult, because we don't
13 know, for example, what the characteristics of the canister
14 distribution, or orientation, or loading, and so on.
15 Therefore, we can't make a prediction of, say, a volcanic
16 dike of one meter width would have with various orientations.

17 But, we might be able to get an idea what minimum
18 sized events, because there might be some truncation there,
19 and that would have some feedback, then, on what we would
20 consider as a dangerous type of event, anyway.

21 And then, what is the probability of events
22 according to size, and what is the probability of events
23 according to space? I think, actually, this probability of
24 space still needs to be determined. What is close enough?
25 The word disruption of the repository has been used in

1 conjunction with what I would call intersection. I would
2 just say that a volcanic conduit intersects the repository.
3 It might not disrupt it. It might just pass through, or it
4 might fill the repository up, or it could explode.

5 But, what is the probability of events being close
6 enough for effects? And I understand now that Valentine is
7 going to be working on these kind of issues.

8 Now, other questions on the problem resolution, I
9 didn't put down, "Enough is enough." I changed it to
10 resolution or convergence or something like that, I think,
11 might be a way we could think of this, too. I think one
12 thing is to put this problem into a global framework, and,
13 for example, compare these local forecasts of probability
14 functions with those of larger regions; for example, the
15 Great Basin, or some larger volcanic fields within the Great
16 Basin, and it looks to me like some of these predictions have
17 been made already at this meeting, setting some bounds on the
18 probabilities.

19 Maybe we have to consider some--I call them
20 qualitative scientific issues, but maybe we could express it
21 in terms of geological models, and I put down here an example
22 being expected mass rate of eruptions. Another concern of
23 mine at this point is to incorporate, or to develop a more or
24 less unified model for volcanism at Yucca Mountain from the
25 generation of the magma and magma transport upward, possible

1 storage in the near surface, and eruption, but to give some
2 weight to these issues that maybe we can't put numbers on
3 them, but we can certainly understand how the processes work,
4 and understand the processes.

5 And, again, another recommendation I would have
6 would be to incorporate expert judgment to evaluate some of
7 these conceptual issues. For example, in spatial models, I
8 think expert judgment could be useful in that respect, but in
9 all of these other questions, too, it seems like a broader
10 element of the community should be brought into the
11 discussion of these issues.

12 And, I think I'll end with that.

13 DR. ALLEN: Okay. Thank you, Mike.

14 Are there questions or comments from the Board or
15 from consultants, or from staff?

16 DR. CORNELL: Just a point of clarification. I'm,
17 listening through the day, a little confused about some of
18 the variations in terminology, and so on, that are going on
19 in the models. I think some of what you said maybe clarified
20 it for me.

21 There seems to be some interest in whether the
22 average rate of what's going on should be measured in terms
23 of number of events, should be raised in terms of mass rate,
24 which, presumably, would translate one-to-one, provided
25 there's sort of an average, the same about a mass per event,

1 and I guess there's a question about that, also.

2 And there's a question--I guess there's a question
3 of is that rate, one or the other of those, stationary in
4 time, or homogeneous in time? We've heard this word being
5 used, versus this question--I thought I heard Dr. Ho calling
6 this a Weibull model. I'm a little confused about that.

7 But you also brought up the notion here of the non-
8 Poissonian aspect; that is, what you--it was Wickman and his,
9 it looks like what we would call a renewal model.

10 DR. SHERIDAN: Yeah, exactly; a renewal model.

11 DR. CORNELL: And this goes to the non-Poissonian, the
12 non-memory aspect; that is, that where--and depending on the
13 coefficients you get out of that, where, again, we often use
14 a Weibull model to characterize the inter-event time, and
15 then that Weibull model, depending on that beta parameter
16 Weibull model, you either get these things clustered in time,
17 or nearly cyclic in time, those being sort of the two
18 extremes, with an exponential being in between.

19 Am I confused, or is there confusion in what I'm
20 hearing today, or which of these remain issues in your
21 interpretation?

22 DR. SHERIDAN: In my interpretation, yeah, you're quite
23 right that there's a great deal of fog surrounding these
24 issues, and the--do we use events, and then somehow take
25 another function to be multiplied by the event, and, say, the

1 expected size of the event, because, certainly, the size of
2 the event that is expected is what is important for the
3 vulnerability of the site to the event.

4 So, if we take the mass eruption rate, and we can
5 get some distribution function in time and space of this,
6 then that incorporates this other element. Otherwise, this
7 logic tree, we need to introduce another function for the
8 type of event; what will happen.

9 So, and I have some problem with this event myself,
10 of how are these events in the historic past recorded. Now,
11 what do we say is an event, and when did this event occur?
12 And, apparently, this is kind of an important factor, but if
13 we could think of--more like what would be the effect of
14 volcanic activity, what is the distribution curve of the
15 effect, that's really what we want to identify.

16 So, the mass eruption rate, we have one curve, and
17 if we look at the event curve, then we have to have another
18 function that identifies the type of event. So, you're quite
19 right, and I think that the mass eruption rate is a much
20 easier item to quantify, and I was going to give a little
21 digression at the beginning and say it's something like
22 predicting the damage done to cars striking a deer crossing
23 the highway, and we're on the ark. Since I'm from the
24 Niagara frontier, this comes to mind.

25 And in that sort of analogy, it depends on the size

1 of the car you're driving, and it depends on a lot of
2 factors, and we can go into these theoretical aspects and
3 solve for this, or you can count road kill on the highway
4 very accurately, and in the case of volcanos, you can count
5 the road kill pretty accurately, and these other things are
6 much less accurate to determine.

7 So, if we are to determine this mass eruption rate,
8 then I think we have to determine what these magnetic
9 anomalies represent, and probably drill into them, determine
10 the age of the magnetic anomaly, and more or less the size of
11 the material that's there, but that would certainly tell us
12 whether we have a waxing or waning aspect and we don't have
13 to worry about this beta function, this beta parameter for
14 the Weibull function.

15 DR. ALLEN: Yeah, Bill Melson.

16 DR. MELSON: I was wondering in terms of our road kills
17 at volcanos. I think at the break we had a little discussion
18 about how much of the tephra's been lost by erosion here. I
19 think this is a very valid question, and one that may be hard
20 to answer, but we do know it moves very fast and very far
21 erosionally, so it may not be so easy, I think to reconstruct
22 a volume versus time rate, but it would be interesting to
23 hear what Bruce Crowe and some other people here might say
24 about that.

25 DR. ALLEN: Any other questions or comments?

1 (No audible response.)

2 DR. ALLEN: Okay. In five minutes, we're scheduled to
3 start the round-table discussion. What we're going to do, as
4 I understand it, is the tables, during the next few minutes,
5 will be reorganized here, and when we come back, we wish all
6 of the speakers during yesterday and today will sit at this
7 front table, including our consultants. The Board is being
8 relegated back to the audience, and staff, and we'll see how
9 it goes from there.

10 (Whereupon, a brief recess was taken.)

11 DR. ALLEN: Let's make sure that all of the speakers
12 have taken their places at the head table, leaving the
13 minority people in the audience.

14 We have no very formalized structure for the round-
15 table discussion, but, hopefully, things that have been left
16 over from the earlier presentations that some of you may feel
17 you wish to talk about will do so. At least initially, I
18 think we'll probably restrict ourselves mainly to people at
19 this table, but be assured that before we end, we'll be glad
20 to entertain thoughts and comments from anybody out there in
21 the minority of you who are in the audience.

22 We've had a couple of requests, some dating even
23 before this meeting, to make two presentations, so we will
24 have two short presentations initially. I'd like everybody
25 to try to limit themselves to five minutes, whatever you say.

1 Unlike McNeil and Lehrer, I don't have the power to turn off
2 the microphone or put the television camera on someone else,
3 so only the power of persuasion.

4 Carl Stepp, some time ago, requested permission to
5 make a short presentation, and then George Thompson also
6 would like to make a short presentation, so why don't we
7 start off with this two.

8 Carl?

9 MR. STEPP: When Leon and I talked about this
10 presentation, the first suggestion was that I discuss the
11 ASCE guideline on seismic and dynamic analysis and design of
12 considerations that is being put out by the ASCE. That
13 guideline is in review right now by ASCE. We discussed this
14 and decided there wasn't enough time, really, to say
15 something that would be very informative to you about that
16 guideline, and so he asked me to, in five minutes, say
17 something provocative.

18 DR. ALLEN: You've got four minutes left.

19 (Laughter.)

20 MR. STEPP: Thank you, sir.

21 What I decided to do is address this issue of
22 probabilistic versus deterministic approach with a very brief
23 example of what's in the guideline, which I think we can
24 rally around. It's, I think, a good way of getting past
25 this, so that's the topic here, with just an example.

1 The example I want to show is for a hypothetical
2 situation of a site in Colorado, where it becomes
3 hypothetical because we modified the USGS hazard maps for
4 that region by putting in a fault source here, with a cluster
5 of earthquakes that was actually associated with fluid
6 injection. Our site's located about 20 kilometers from that
7 fault source. It actually has contributions to the hazard
8 from Source 71 and Source 45.

9 Now, we do a hazard computation for those sources
10 and for the region surrounding the site, and we determine a
11 total hazard curve in the typical fashion of annual
12 probability versus, in this instance, spectral velocity at 10
13 hertz, and we can do, also, the same computation for each of
14 the contributing sources.

15 And, as you can see, at 10 hertz, the hazard at
16 this site--and this is the first cut at determining where the
17 hazard's coming from--is dominated by the fault source that
18 we've introduced, even though the seismicity in this fault
19 source is order of magnitude lower than the rate, for
20 example, in Source 45, the magnitude is two orders of
21 magnitude lower, a maximum magnitude estimate for that.

22 Now, a second cut at it, then, is simply to look at
23 another frequency band, and this picture changes. For the 1
24 hertz frequency band, the major dominant contributor to the
25 hazard is now Source 45, I believe--no, it's Source 71, which

1 is the source that is within which the site is located. So,
2 it's the major contributor to the hazard at the 1 hertz site.
3 I think I'm wrong on that. That's the more distant source
4 with a higher magnitude earthquake.

5 Now, at another cut in this, one can also do
6 further de-aggregation, either on total hazard, or on a
7 source-by-source basis to look at the relative contribution
8 to the hazard as a function of magnitude and range, and also
9 as a function of distance range, and as a function of this
10 parameter epsilon, which is really the amount by which the
11 log distribution, or the log of the ground motion varies from
12 the median of the ground motion.

13 Now, this is very informative in that it
14 immediately shows you at the 10 hertz range that the hazard
15 is coming from a nearby source, and it's coming from very
16 small magnitudes; that is, magnitudes less than about six,
17 certainly, and they're clustered around this nearby source,
18 and it shows you, also, that for those magnitudes, the hazard
19 is being driven by ground motions that are well above the
20 mean.

21 It's useful, also, to display these--and I'm going
22 to stop with this slide, Clarence--in a three-dimensional
23 fashion, just to get a better perspective of these
24 contributions and, in this instance, we can see that the
25 hazard at 10 hertz is dominated at about 68 per cent by small

1 earthquakes on this nearby source. There is some minor
2 contribution from earthquakes slightly more distant, but,
3 still, in the lower magnitude ranges, and these earthquakes
4 are coming, of course, from the more spatially distributed
5 source within which the site is located.

6 May I show one more, just quickly?

7 When I contrast that with the same plot, showing a
8 now distance versus magnitude for the 1 hertz range, you can
9 see that the hazard is much more distributed over the source-
10 -the distances and, therefore, the sources, but approximately
11 70 per cent of the hazard is clustered out here at higher
12 magnitudes at distances beyond 75 kilometers.

13 So, what this says is that at 1 hertz, we really
14 need to be concerned with looking at these more distant
15 earthquakes, I mean, larger earthquakes, and the more distant
16 sources, and out of this, the reason I wanted to show this
17 is, out of this, I think, is the solution to the
18 probabilistic versus deterministic arguments that we have had
19 some trouble with dealing with here in the regulatory
20 environment.

21 This method that we propose in the guideline is
22 purely probabilistically-based so far as deriving the hazard
23 is concerned, and establishing the design level ground
24 motions, but there is a follow-on activity that is
25 recommended in the guideline of this de-aggregation of the

1 hazard to develop a data base which can be used, then, to do
2 a straightforward deterministic comparison.

3 In other words, if you want to look at the sources
4 in a deterministic fashion, and compare the motions from them
5 with the probabilistic results, this can be done in a
6 straightforward way.

7 There's another two or three levels of depth that
8 one can go into with this, but I'll stop there.

9 DR. ALLEN: Thanks, Carl.

10 Any comments or questions?

11 (No audible response.)

12 DR. ALLEN: Okay. One other person who requested to say
13 something was George Thompson.

14 George, you can either do it from there, or--you
15 have a view graph. Okay.

16 MR. THOMPSON: Leon invited me to come to this meeting
17 probably because of my naturally disruptive personality, and
18 I have sat meekly for a day and a half now, so I'm allowed to
19 say a word.

20 I've been interested in dikes for a long time as
21 stress indicators, and I think the important thing that I
22 might say in just a couple of minutes here today is that
23 there's a very close complimentary action, some physics
24 between dike injection and normal faulting in extending
25 areas, and the general notion is ultra simple.

1 In the elastic extension of the seismogenic layer,
2 which you see at the top there, you can get response either
3 by an earthquake showing the extension here taken up by the
4 earthquake, or you can get it by injection of a dike, and,
5 just briefly, there's evidence of this kind of relationship
6 all around the world in a lot of extensional environments,
7 and I think it's expressed at Yucca Mountain by the lack of
8 earthquakes in the Crater Flat area, even micro earthquakes
9 are scarce there, and that's the area where there is volcanic
10 action, and also expressed by the flatness and lack of
11 topography in that area.

12 Now, what we're seeing here is that as elastic
13 stress builds up, it can be relieved either by injection of a
14 dike, or by a normal fault like this, and it's shown in a
15 Mohr Coulomb diagram, for those of you who are familiar with
16 that.

17 Dikes, in doing this, are like hydrofracs, which
18 are used either to measure stress, or they're used to
19 increase permeability and oil production, and the dikes frac
20 in perpendicular to the least principal stress, and one can
21 see lots of geologic evidence that it doesn't pay much
22 attention to inhomogeneities in the rock. If there's stress
23 difference, the dike goes across those inhomogeneities quite
24 faithfully.

25 A dike differs from a hydrofrac in one very

1 important way, and that is that the basalt magma chills,
2 freezes, it doesn't penetrate the pores of the rock, it
3 doesn't leak off. In petroleum production, they're lucky to
4 get a few millimeters of opening when they hydrofrac to
5 increase the permeability. Dike widths are commonly
6 something like a meter, sometimes several meters.

7 In injecting this way, they operate against the
8 least principal stress, which was over here this way, and
9 they change the stress relations so that some other stress
10 direction of the principal stress has become released, and if
11 another pulse of magmatism comes in, then you get an
12 orthogonal direction of injection, which is what's shown
13 here.

14 In this case, what was originally the least
15 principal stress this way has now become a maximum principal
16 stress because of the dike injection, and the new sheet comes
17 in perpendicular to the vertical.

18 I think that's important at Yucca Mountain because
19 there is some interplay, then, of earthquakes and dikes.
20 Looking at the geologic map of the area--you've seen this
21 several times--there's this very nice alignment of the one
22 million-year-old cones, and that tells us--that's underlain
23 by a dike or dike swarms in this direction here. It tells us
24 the direction parallel to that is the maximum principal
25 stress, or, perpendicular to it, the least, and that's the

1 record at a million years.

2 The record today is given by active hydrofracs in
3 Yucca Mountain, which agrees very nicely with this direction,
4 and the record today, at depth, is also given by the focal
5 mechanisms of earthquakes, most recently, the Little Skull
6 Mountain earthquake, which also gives that same direction.

7 So, I think that that's all I'll try to say about
8 that topic now, but I do want to say, in regard to some of
9 the questions that were asked about what can geophysics find
10 under Crater Flat, what's it capable of doing, dikes are
11 picked up aeromagnetically routinely all over the Canadian
12 Shield. Some of them go for more than 1,000 kilometers on
13 the Canadian shield, and they're picked up under glacial
14 drift.

15 They're picked up in the Appalachians, and I just
16 looked at the map of Virginia yesterday. They go for
17 hundreds of kilometers in the Appalachians, so dikes are
18 readily recognizable by magnetic means if they're big enough.

19 These things around Yucca Mountain are very puny
20 compared to the ones that one sees, which are often tens of
21 meters wide, or at least a swarm is large like that. The
22 largest aeromagnetic map, the most obvious thing of the
23 aeromagnetic of Nevada is a dike swarm which extends for
24 several hundred kilometers, but the composite width of that
25 is a couple of kilometers, and it's bigger than a meter.

1 Now, you'd quickly lose a one-meter dike at Yucca
2 Mountain as it gets buried in alluvium, or if it's injected
3 into the magnetic noise of the tuffs, which are also somewhat
4 magnetic.

5 May I show one more view graph?

6 DR. ALLEN: Sure.

7 MR. THOMPSON: To indicate that things are picked up
8 very nicely, I brought in this one view graph from an AGU
9 presentation by Victoria Langenheim of the U.S. Geological
10 Survey. This is just south of Crater Flat, and there are
11 magnetic anomalies which have been mapped A, B, C, D, E here.
12 She's modeled one of them in this next view graph--I'll
13 slide one more in on you.

14 Now, these are buried cones, and one of them has
15 been drilled by a commercial company, and you've heard about
16 this. Here it is. It's a couple hundred meters deep. It's
17 a small cinder cone that's been modeled here and fits the
18 magnetic anomaly quite nicely, so this thing's already
19 detectable.

20 For geophysics, in general, the high resolution to
21 look inside Crater Flat is going to have to be reflection
22 seismology, and, as you know, some of that is planned in the
23 near future.

24 Thank you.

25 DR. ALLEN: George, you've stated that the lack of

1 current seismicity is consistent with your hypothesis here.
2 If dike injection were going on right now, I mean, in this
3 period of five years, wouldn't you expect to see some seismic
4 signal of that?

5 MR. THOMPSON: The rates of extension that have been
6 quoted for this area would suggest perhaps a hundredth of a
7 millimeter per year. That's a one-meter dike in 100,000
8 years. Any dike injection will tend to decrease the
9 deviatoric stress and make it near zero, so something 100,000
10 years ago would have relieved the stress for that kind of
11 period.

12 So, if we've had things 10,000 years ago at Lathrop
13 Wells, they may, indeed, have had an effect on the seismicity
14 in this area.

15 DR. ALLEN: On this particular question, idea, any
16 particular comments or questions? Either everyone believes
17 you or no one believes you.

18 Incidentally, it's even more important now that we
19 identify ourselves, because it's very difficult for Scott
20 over there to tell who's speaking.

21 MR. THOMPSON: I think Frank made a statement that
22 volcanos are good for preventing earthquakes.

23 DR. ALLEN: Okay. Thanks, George.

24 Instead of asking a specific question here, I had
25 the feeling during the meeting yesterday and today that some

1 of you have some impelling things you would like to say, and
2 either you didn't get a chance to, or got cut off, or ideas
3 came up later, so let me just ask the people at the front
4 table here:

5 Do some of you have--are you impelled to say
6 something? We welcome such remarks. Bruce, you looked sort
7 of fidgety this morning a couple of times.

8 DR. CROWE: Let me try to just synthesize my comments
9 into two, and the first one really is directed at a range of
10 people.

11 I think I disagree a little bit with the concern
12 that was expressed about the definition of events, and just
13 let me say, I invite people to read the revised version of
14 the status report, because I tried to address that in some
15 detail. But, the reason that's important is, in my
16 presentation, what I talked about is how we describe
17 recurrence rates based on definitions of the formation of a
18 new volcanic center, and then we draw a distinction between
19 recurrence rates for polycyclic activity.

20 And the reason we do that is, again, the formation
21 of a new volcanic center--and the volcanic center refers to
22 like Lathrop Wells, Red Cone, Black Cone, a spatially
23 discrete volcanic center--has spatial uncertainty where it
24 could form.

25 A polycyclic event requires the pre-existing event

1 to have started to form a center, and then there is a spatial
2 restriction of the next events to either the same center, or
3 to within clusters, like the model that Frank described for
4 dispersed.

5 So, what I have seen in a number of the talks that
6 gave higher probability recurrence rates, was they were
7 intermixing volcanic events or center events with polycyclic
8 events, and then, actually, discrete events, and all I can do
9 is plead for some rationality, and I certainly took a shot at
10 trying to describe this in a uniform way. I'm sure it won't
11 be acceptable to everybody, but at least, perhaps, if we
12 could begin to agree on our definitions, and either agree
13 that these should not be mixed, or make arguments of why they
14 can be mixed to do probability calculations, we would get rid
15 of one area of confusion.

16 Okay, and then the second comment really is for
17 Chuck. You know, I think that your mathematical models are
18 important, and I think anything that brings a new perspective
19 at looking at probability is useful, but one of the points
20 that I made in my talk was there is an inherent non-
21 predictability spatially when you look at the sequential
22 position of events, and all of your models assume that
23 clusters are the locations of other events gives you some
24 information that constrains the position of next events, and
25 what you run into a risk of doing is imposing, by a

1 statistical approach, a predictability that's not there in
2 the record.

3 And, additionally, one issue that I don't think you
4 addressed was the limitations of your database. You very
5 cleverly--I have to compliment you for this--sneaked in
6 Miocene events with the Pliocene and Quaternary to make your
7 cluster models have better significance, but if you're
8 dealing with just the Pliocene and Quaternary, you're talking
9 about either--let's just say the Quaternary. You're dealing
10 with seven total events, or three clusters, and there, any
11 kind of a multi-variate approach, you really have to question
12 the significance of it with that kind of a database.

13 DR. ALLEN: Chuck Connor?

14 DR. CONNOR: My name is Chuck Connor. I'll respond to a
15 couple things there.

16 One is, I think that, as you recognized in a
17 qualitative way, and we quantified, volcanism is spatially
18 and temporally clustered over time in the Yucca Mountain
19 region. That's information we can use. That's information
20 we can use to help look at probability models.

21 In my test over time in the probability model, I
22 found that looking at events that had happened, say, before
23 the Quaternary, gave you good indication of where the future
24 Quaternary events were going to be, so I don't know how you
25 can really begin to do that with your homogeneous model, and

1 you probably don't want to, but with some of the calculations
2 I did, trying, in a very honest way, to calculate what the
3 Poisson equivalent, what the homogeneous Poisson equivalent
4 would be, it turned out that the non-homogeneous model was
5 fairly successful, comparatively very successful at
6 predicting the future locations of volcanos, and I think that
7 helps us, puts some faith in a utility of slightly more
8 elaborate probability models, spatially and temporally non-
9 homogeneous probability models.

10 Second, the main feature of the analysis that I
11 presented is that volcanism tends to cluster through time,
12 close to the Yucca Mountain repository; that is--well, that's
13 a relative term, but in the Crater Flat area, and that
14 cluster doesn't depend on Miocene events at all. I didn't
15 sneak anything in there. All of the events I used in that
16 area were by your dates, which are great, of 4.4 million-
17 years-old or less. They go from 4.4 to 3.7, and those events
18 are what created a anomaly in that region which helped
19 increase the probability that future events would occur
20 there, based on my model. In fact, that's why the Crater
21 Flat volcanos, Red Cone/Black Cone, were predicted well with
22 that model, compared to other models.

23 Now, again, I would get back to the idea that--and
24 I think other people who work in probability can do this--if
25 you do show that volcanism in the area is spatially clustered

1 and temporally clustered, and we know that's a very common
2 condition in volcanic fields--I don't think anybody's ever
3 found a volcanic field where that didn't occur--is it really
4 reasonable to use a homogeneous model, and should those be
5 included in the kinds of probability compilations that you're
6 doing? I would think not, but that's just my position, I
7 realize.

8 DR. CROWE: Let me respond. You still didn't answer my
9 questions. There are two questions.

10 One is: Given that when you plot the sequential
11 position, that you get very non-systematic jump directions
12 and jump lengths in where the next event, how can you justify
13 the confidence you put in spatial predictability; and second
14 is the statistical distribution of the small number of data
15 sets. You didn't answer either of those.

16 Let me bring a third question that you can try not
17 to answer, and that is that what we have pointed out with the
18 cluster model, that when you have like a 1.0 million year
19 event, Red Cone, Black Cone, those four events, or five, or
20 whatever you want to call them, what we've pointed out is
21 that we have not been able to separate them in age given the
22 uncertainty of our dating methods.

23 In your cluster model, if you treat each one of
24 those as an independent point in cluster, you're gathering
25 too much weight to what could be just one single event that

1 just was spatially dispersed. So, could you also address
2 that?

3 MR. CONNOR: Yeah, I'll address that. I think for the
4 Quaternary events, in particular, it's okay to go out there
5 and count volcanos, but other than that, yeah, I treat those
6 as separate events and, geochronologically, they're--right
7 now, with the resolution of methods, apparently not
8 distinguishable. That's fine.

9 I would point out that it's possible, therefore, to
10 take that date and say that the area affected by volcanism,
11 by a likely volcanic event is much larger than the area I've
12 been considering so far, and I'd be willing to do those
13 calculations. In other words, if we say that the Crater Flat
14 volcanos are one event, then, certainly, one event has to be
15 considered to affect a much larger area than anybody's
16 considered so far. So, I think in the wash, that'll all come
17 out as being a pretty--wind up with a pretty similar
18 solution.

19 Second, I showed a slide of four maps of the non-
20 homogeneous Poisson probability model, and those maps were
21 created to test the model in what I think is a very
22 conservative way; that is, just before episodes of volcanism,
23 and those maps were only based on volcanos that had happened
24 prior to that time, and, as I pointed out, that analysis
25 indicates that for what's happened so far, particularly in

1 the Quaternary, the spatial locations of the Crater Flat
2 volcanos and Lathrop Wells are much better predicted using a
3 non-homogeneous model than a Poisson model, and the Sleeping
4 Buttes are not, and if you put different parameters into that
5 model, you can make it predict the location of Sleeping
6 Buttes a little bit better, but I just didn't do that. I
7 don't want to push the analysis so hard.

8 The point is, is that volcanism has clustered
9 through time in Crater Flat Valley. That creates a non-
10 homogeneity in the recurrence rate spatially throughout the
11 region, and when you take that into account, you get higher
12 probabilities of volcanism in that area, and that's important
13 because the Yucca Mountain, the candidate repository, is
14 close to Crater Flat Valley, and so it's important to take
15 into account that kind of detail if it's available in your
16 data.

17 This is coming out of just spatial and temporal
18 data that have been gathered, so I don't know how to say it
19 other than that.

20 DR. ALLEN: Let me ask if any of our other
21 volcanostatisticians have anything to say about this.

22 John Trapp?

23 MR. TRAPP: Yeah, there's just one point. The one with
24 the Markov model that was shown, Chuck, while I was down at
25 the Center, ran another one, and the difference between the

1 two was really kind of including the Sleeping Buttes area
2 versus not including the Sleeping Buttes area in the whole
3 calculation.

4 What that seemed to show is that you've got a
5 tremendous difference in the probability calculations. One
6 of the possible things that is being shown by some of the
7 things that Chuck has got is maybe the Sleeping Buttes, as
8 far as a probability calculation, do not fit the same model
9 as the Crater Flat. There may be something structurally and
10 statistically significant about those two zones, and the
11 Crater Flat zone may not be a geologic reality.

12 DR. HO: I have one comment on the homogeneous and non-
13 homogeneous Poisson models here. I think this shouldn't be
14 the issue here, because the Weibull model that I used is a
15 generalization of the homogeneous Poisson model, so in older
16 days, when motorcycles not available, people ride bicycle.
17 But, now, we have motorcycle available. You can climb the
18 hills, you can go down hills, and you can also ride
19 comfortably on the even space here, so why do you want to
20 compare a motorcycle and then bicycle? Because have the
21 ability of doing the other completely, 100 per cent.

22 So, this Weibull model, including homogeneous
23 Poisson model, so we should 100 per cent abandon that model.
24 That not the issue, though. It's dead, it's dead, and I'm
25 showing that already. When the beta is one, indicating that

1 is homogeneous Poisson model, reflect by the Weibull model,
2 so why this is an issue?

3 And Chuck's model is a two-dimensional uniform
4 distribution for the volcanos. I hesitate to use the
5 homogeneous Poisson and non-homogeneous Poisson model. It's
6 a non-uniform, two-dimensional spatial distribution, so the
7 terminologies is different, so I think this should be
8 clarified in a very clear manner in any kind of report.

9 And, again, my second comment is I have a question
10 for Dr. Bruce Crowe about, I don't quite understand your
11 definition about a Tripartite probability models. Would you
12 please tell me what is your definition about E1? What is the
13 E1?

14 DR. ALLEN: Bruce?

15 DR. CROWE: E1 is what I presented to you as defined on
16 three things. One is the recurrence rate of new volcanic
17 centers. That's what we call $\lambda(v)$. The second one is
18 the recurrence rate of volcanic intrusions, and the third one
19 is the recurrence rate of clusters of volcanos, assuming that
20 the clusters form one synchronous event.

21 DR. HO: Okay. Now, here, after receiving your
22 definition here, E1 is a recurrence rate, right, a rate which
23 is not random, which is not a random variable, which is a
24 constant. How can put a probability on a constant?

25 For example, this E1 can be the true weight of

1 everyone's weight in this room, the true weight, true average
2 weight of everyone's weight in this room. How can you put a
3 probability on this true weight when it's a constant, is a
4 constant, which is a known?

5 So, this models into a statistician or to a
6 mathematician who has a better training in probability, you
7 say, gee, what's the probability of a parameter? That's
8 nonsense, that's nonsense; is a constant.

9 DR. BUDNITZ: Absolutely not. If I asked everybody in
10 this room to try to see if they could estimate my stature, my
11 height, which is exactly known, you'd get a distribution
12 which would represent everybody's state of knowledge, leaving
13 me out, because I know it, and that has an absolutely perfect
14 validity for the purposes of analysis like this.

15 What it is, it is an assessment of people's state
16 of knowledge, and that state of knowledge is represented by
17 distribution, a density distribution. You can call it a
18 probability if you want, but I think that's a better
19 notation. It is a density distribution of people's state of
20 knowledge, and it has a perfectly well-defined meaning and
21 validity, I insist.

22 DR. ALLEN: Peter Wallmann also had a response to this.

23 DR. BUDNITZ: It's a completely non-trivial point that
24 you shouldn't be confused about.

25 DR. ALLEN: Just a moment. Peter Wallmann also raised

1 his hand.

2 DR. WALLMANN: I think we have to remember what we're
3 going to use this information for. We are not going to use
4 this information for--I mean, to think that we are going to
5 find the recurrence rate is nonsense, but we're going to use
6 it in performance assessment. How is it used in performance
7 assessment? It's used as a distribution. It is not known.
8 You use parameter uncertainty in performance assessment,
9 because you don't have enough knowledge to fix all parameters
10 in your system, so you describe both model uncertainty and
11 processes, and parameter uncertainty that feed the models.

12 DR. ALLEN: And now back to you, Dr. Ho.

13 DR. HO: Okay, yes. Now, back to your comment here.
14 So, you use--this is serious business here, yes. You use the
15 distribution to quantify your weight, your weight, but that
16 distribution have a center which is true value. There is a
17 mean there with a true value here, so--which is the norm. So
18 I accept that we can distribution to quantify something,
19 something, but over here, you are talking about probability
20 of E_1 . I think I will prefer that E_1 shall be the event, the
21 event of an eruption, of an eruption; event, and that's
22 random, that's random, and that event is quantified by a
23 Poisson distribution, which has a known true average, E_1 .

24 DR. ALLEN: Allin, you started to say something. Do you
25 want to finish?

1 DR. CORNELL: No, I think I'll stay out of this one.
2 I've said enough.

3 DR. ALLEN: John Trapp?

4 DR. TRAPP: I'd actually like to go back to some of the
5 questions that you were asking. I mean, this discussion
6 really kind of brings the whole thing out.

7 This really ties in, because one of the points that
8 you were trying to bring out in this meeting, are the numbers
9 going to change? And I think what you've got right here is a
10 very good example that the numbers really are not going to
11 change much in the future. We are going to have the same
12 range of numbers, I believe, when we get to licensing.

13 One of the most compelling things that I have seen
14 brought out in this meeting, one of the things that really
15 does give me a lot of confidence, at least in the
16 volcanological field, was what was presented by DOE as far as
17 their Probabilistic Volcanic Hazard Assessment that they're
18 planning on doing that Kevin presented, and I think that is
19 really the one thing that may get this question off dead
20 center and really get us going.

21 DR. ALLEN: Any comments on that statement?

22 DR. BUDNITZ: In my talk, I made an appeal, because I'm
23 an ignorant person in the volcanic area, although I know some
24 about seismic. I made an appeal for somebody to tell me--
25 excuse me--tell the world how much difference matters. If

1 Crowe is right, and all of those things within a factor of,
2 plus or minus factors of two or three, full range, less than
3 a factor of ten, maybe that's--maybe we know enough, but I
4 don't know that we know enough, because I don't know.

5 But, somebody needs to know that and tell us, and
6 then we have to scrub up that analysis and see if we agree.
7 The same thing with seismic.

8 DR. HO: I have a comment on that point.

9 We have a very common slogan or trademark
10 indicating that since the event is stochastic, therefore, the
11 answer is necessarily probabilistic. So, if the answer is
12 probabilistic, your question probably very hard to answer.
13 Probably the true answer is existing somewhere, but nobody
14 knows at this time. So, somehow, we have to live with that
15 one, and then work on that. Maybe it's a little bit too
16 abstract, but I've done my best.

17 DR. CROWE: Let me make a comment. First, I'm
18 encouraged by John's comment, and I find that we can have
19 agreement that proceeding into expert knowledge, I think
20 that's a very positive step forward.

21 Second is just one suggestion I have, that a way,
22 perhaps, we could at least try to understand our differences
23 a little bit better is to try to cast our distributions, our
24 values for the probability, E_1/E_2 , or E_1 given E_2 , is a
25 probability distribution, and when we talk about how here's

1 our numbers that I got, here's the numbers that they've got,
2 talk about where they sit in the distribution, because
3 sometimes I think we're talking about a mid-point or a median
4 or an expected value; other times, I think we're comparing
5 tales, and we're not always being as careful as we should be
6 about where we are in those.

7 For example, I think some of the ranges that I
8 heard the State and Chuck and the NRC present, I think, are
9 captured in my probability distributions. I just don't know
10 where they would put them on a distribution, and so, perhaps,
11 as a suggestion for a way of getting over a communication
12 barrier here is try to assign a probability distribution and
13 tell us where your numbers sit in that distribution.

14 DR. ALLEN: Well, let me ask a question here, and change
15 the subject a bit.

16 I suspect that more people for a longer time have
17 been working on earthquakes hazards at Yucca Mountain than
18 have been working on volcanic hazards; a greater number of
19 people, a greater effort, an awful lot of work has been done.
20 John summarized some of the most recent results.

21 Why aren't we arguing here about probabilities of
22 earthquakes? Why is all our attention on volcanos? Why
23 haven't we, in our structure here, why haven't we gone into
24 the probabilistic--and I'm not sure John even wants, you
25 know, it's not necessarily your responsibility, but do you

1 have any comments on that?

2 MR. WHITNEY: Yes. This is John Whitney with USGS.

3 You know, yesterday, I think I heard a note of
4 irritation from part of the Board about--

5 DR. ALLEN: Oh?

6 MR. WHITNEY: --the fact that seismic hazard hasn't
7 progressed very far, but I think you really, in all fairness
8 to the program, you have to look at the history since the
9 site characterization plan was written in '85 and '86, and
10 then was released at the end of '86. The program went on
11 hold in a data collection sense, and, actually, because of
12 the public perception of a new hazard at Yucca Mountain;
13 i.e., volcanism, Lathrop Wells became a very large center of
14 attention. That program actually started data collection
15 several years before seismic hazards got back, or the whole
16 tectonic geologic data collection process got back on track.

17 So, actually, the number of volcanic centers was
18 pretty much known, and has been known for some time. The
19 actual problem of dating, of course, has been a real problem,
20 but that's not, in a way, the major volume of information
21 that Bruce needs for his calculations.

22 We're starting--so, there is another point. The
23 volume of data needed for a volcanic hazard analysis is, in
24 my opinion, probably an order of magnitude less than what we
25 will be using in the seismic hazard calculation. We got out

1 100 kilometers from Yucca Mountain, and we have to evaluate
2 every single major lineament, and then categorize it as a
3 potential relevant source. So, we have a heck of a data
4 collection process to go through.

5 Then we have a whole interpretive phase of actually
6 picking out fault parameters, ranking relevant seismic
7 sources, the ground motion modeling, et cetera. All is
8 actually beginning to be done now.

9 Furthermore, because of the state of the knowledge
10 in the early eighties, the site characterization plan had a
11 very strong deterministic orientation. It was called the so-
12 called 10,000 year characteristic earthquake, and with the
13 new team that came in in the last couple years, we've
14 discarded that completely, and that's one reason why the
15 topical report was written.

16 There were open items from the NRC looking at the
17 site characterization plan. We wanted to revise our approach
18 and use and take advantage of the work that's been done
19 through the eighties, and, so, this is something that really
20 couldn't be done overnight like that. So, all those factors,
21 I think, tell you why we are a couple years behind, but we
22 have collected a great volume of data in the last couple
23 years, and, as I said yesterday, I think that we will be very
24 close to beginning our actual hazard analysis this time next
25 year.

1 DR. ALLEN: Okay, thanks.

2 Any other comment on this?

3 MR. SULLIVAN: Tim Sullivan. Let me just follow up and
4 summarize on John's remarks.

5 DOE recognizes that there's a significant misfit
6 between the Board's expectations of a seismic hazards
7 program, and the schedule and program planning that we laid
8 out yesterday.

9 In response to that, it seems that I ought to carry
10 back to my management a recommendation to reconsider the
11 prioritization of activities within the seismic hazards
12 program, and perhaps overall site characterization
13 activities, and I will do that.

14 At the same time, we will pay close attention to
15 the evolution of the volcanism program as it moves into its
16 assessment phase, and learn what lessons we can from that
17 program.

18 DR. ALLEN: Okay. Buck Ibrahim had a comment on this
19 subject.

20 DR. IBRAHIM: According to the statement yesterday about
21 the topical report, correct me if wrong, that the final
22 report will be coming around 1996, or maybe take more than
23 that, and we are sure now that the ESF is progressing, and
24 whoever has gone through the ESF like to have some kind of
25 design to proceed with their ESF, and if are waiting for 1996

1 and, God knows, maybe take until 1998 to come out with that
2 kind of value.

3 I know you have the preliminary value, which you
4 mentioned yesterday, about .4, but, again, if you read some
5 of the other reports, they are coming out with a value of
6 .75, and I really don't know which one DOE is trying to
7 dictate or tell the engineer to design for, so unless we
8 progress fast, a little bit like what Paul Pomeroy suggested
9 yesterday, I think some of that will be waiting until 1996,
10 1998 to come out with what is our value trying to tell them.

11 MR. SULLIVAN: As I mentioned yesterday, and DOE didn't
12 present this in detail, we have completed a preliminary,
13 simplified probabilistic seismic hazard assessment in support
14 of the underground portions of the ESF design, and maybe I
15 ought to ask Rich to just take a minute and describe that.
16 It will be issued or released within the next couple of
17 months. It's intent is to support the underground portions
18 of the design, and, particularly, those that are to be
19 incorporated into the repository.

20 DR. ALLEN: Yeah. Rich Quittmayer.

21 MR. QUITTMAYER: Yeah, I can just say a few words about
22 that. The approach that was taken is a probabilistic
23 approach. John Whitney, yesterday, during his presentation,
24 showed some of the inputs that went into that, the source
25 characterization, which was summarized in one of the tables

1 in his presentation, and he also showed one of the hazard
2 curves that has come out of that, showing the contributions
3 of some of the sources.

4 As Tim has said, you know, we're in the final
5 stages of writing this work up. It still needs to be
6 reviewed, and then should be out within the next couple of
7 months.

8 DR. IBRAHIM: Just one simple question about some of
9 this preliminary data. You discovered recently a new fault.
10 Is that new fault considered in this analysis, or it will be
11 updated, or what is the situation?

12 MR. QUITTMAYER: No. When the analysis was done, the
13 Sundance Fault had not been identified as a specific future,
14 and that is not included as a specific source. There is a
15 background source to accommodate seismicity that is not
16 occurring on identified faults, so I guess the answer was yes
17 and no.

18 DR. IBRAHIM: No, but I'm saying, I mean, it seems to me
19 that unless we go ahead and try to characterize the site and
20 do the investigation which has been asked by NRC for a long
21 time, we are going to really be delayed by going through this
22 licensing this site.

23 DR. ALLEN: Well, in defense of the DOE, this was a
24 fairly recent discovery, quite recent discovery. It's under
25 intensive investigation right now. It's not clear that it is

1 a seismic source, so at the moment, it's preliminary to talk
2 about using it, it seems to me.

3 DR. IBRAHIM: But I thought that that fault was seen in
4 1984, as is indication.

5 DR. ALLEN: John Whitney can better explain this.

6 MR. WHITNEY: Yeah. Let me give you a little bit of
7 information about what we've done.

8 The detailed surface mapping over the repository
9 block is going on along in strips along several of the ridges
10 that overlie the block, and, also, along the projections of
11 the Ghost Dance Fault, and during that mapping, a northwest
12 feature that did contain a, or structure that contained some
13 breccia in it was found, and the amount of offset on that
14 feature is not really known at this time. It's not known
15 whether that structure is a volcanic--a collapsed feature
16 from within the block, and it's extremely old.

17 So, basically, we're kind of talking about
18 unreviewed, raw geologic data, and in a program like this,
19 we're kind of in a situation where we're damned if we do and
20 we're damned if we don't. If we find something and don't
21 talk about it, we're told we're covering up new information,
22 and if we put stuff out before we've studied it--and I can't
23 tell you exactly what that fault means--it makes it look like
24 we haven't done our work. So, we're in this kind of no man's
25 land with new information here.

1 The thing that is important to realize with these
2 earthquake faults, as they're called in the newspapers in Las
3 Vegas, is that the total offset on a structure that cuts a
4 12½ billion-year-old volcanic unit is less than 30 meters,
5 and there are no surface expressions in rock of these
6 structures having moved in welded volcanic tuffs. If there
7 has been any movement within several hundreds of thousands of
8 years, we expect to see some sort of topographic expression
9 of these things. It's not there.

10 So, we have a program this year to evaluate the
11 history of these structures as best we can, and we will,
12 unlike most places in the world, we should be able to see
13 some of these old inter-block structures underground, as well
14 as on the surface, but our first analysis will be on the
15 surface. We will actually try to use exposure dating to show
16 how long the surfaces that have been cut across these
17 structures have been unaffected by any kind of movement.

18 Also, there is a possibility that we have, within
19 our program already, analog studies of inter-block activity
20 out in Midway Valley, and, for example, we may decide to look
21 at the geophysical anomaly called the Midway Valley Fault,
22 which everyone knows has to be there from the cross-sections
23 of the geologic maps, and our detailed gravity profiles to
24 pick it up, so we kind of know where to trench.

25 We know that the materials that cross that

1 structure are hundreds of thousands of years old. That's not
2 going to be a debatable point. Whether it's 400,000 or
3 550,000 years old may be debatable, but that's where the
4 debate will lie.

5 We can see no surface expression of this fault. We
6 don't even know where to trench. We have to ask a
7 geophysicist where to trench.

8 DR. ALLEN: And I think it's only fair to point out that
9 these ongoing field investigations are under some financial
10 straits because of urges by some groups that they get
11 underground very quickly.

12 We only have some 25 minutes left, and we are going
13 to cut it off at four o'clock so people can leave.

14 Let me ask if there's some people in the audience
15 who have any urgent statements or questions or comments they
16 would like to make? You're welcome to do so.

17 (No audible response.)

18 DR. ALLEN: I can't believe it.

19 MR. SULLIVAN: While the audience considers their
20 comments, DOE didn't invite the speakers here today, yet, I
21 thought I heard a majority of those who discussed seismic
22 hazards conclude that probabilistic seismic hazards analysis
23 is appropriate for assessing seismic hazards at Yucca
24 Mountain, and, further, that that's the best way to describe
25 those hazards.

1 DR. ALLEN: Well, would anyone disagree with that?

2 MR. McCONNELL: Yeah. I wouldn't characterize our
3 response in those terms. I think we'll hold our response
4 until we see the topical report, or the series of topical
5 reports, and if I could just make one other statement.

6 It was brought to my attention there might be some
7 misperception about the NRC desire for a topical report. We
8 have not taken a position on whether the topical report
9 approach for seismic hazard methodology is the appropriate
10 approach to take. We just have no objections if DOE chooses
11 to take that route, so we're not promoting it or--

12 DR. ALLEN: I feel if Ellis Krinitzky were sitting at
13 the table, you might have some response from him.

14 MR. SULLIVAN: If I could respond to that, Keith, just
15 quickly.

16 Keith, you did send DOE a letter identifying
17 seismic hazards evaluation as an appropriate topic for a
18 topical report.

19 MR. McCONNELL: That's a little bit less than endorsing
20 it. It doesn't say one way or the other whether we accept
21 that methodology. It just says that as far as a topic for a
22 topical report, it's fine, and--well, I'll leave it at that.

23 MR. WHITNEY: Following on that sentiment, and
24 remembering what Paul Pomeroy suggested in his presentation,
25 how would you feel if we just did our own probabilistic

1 seismic hazard analysis without giving you a topical report
2 or a study plan, just go out and do it?

3 MR. McCONNELL: Well, I think, while study plans aren't
4 statutory documents, they are derived from a statutory
5 document, and there would be an expectation study plans would
6 be forthcoming.

7 I think the approach to doing a seismic hazard
8 analysis is up to DOE. We've tried to put out, in both our
9 letters to you and in this presentation what our policy would
10 be on approaches to determine seismic hazard. How you then
11 decide to go, well, how DOE decides to go is really up to
12 them, but we've also made clear that you should come to us
13 and discuss these things early so that we don't get into a
14 situation where we get to licensing and we don't agree, and
15 there are significant problems with the approach.

16 So, again, I'm not saying that we don't, or that we
17 object to a topical report. I'm just saying that that
18 decision is DOE's decision, and that we neither endorse it
19 nor detract from it.

20 DR. IBRAHIM: I just like to ask question here. Is the
21 topical report coming out with anything new than what exists
22 now everywhere in the literature?

23 MR. QUITTMAYER: The topical report describes a
24 methodology that is based on experience in seismic,
25 probabilistic seismic hazard assessment over the last decade,

1 so there are no real new concepts involved. The application
2 of probabilistic approach to fault displacement estimation is
3 not as well-developed as it is for vibratory ground motion,
4 so, in some sense, that may be a new application of it,
5 but...

6 DR. IBRAHIM: I would say, really, if there is not much
7 difference between what was existing now in the literature
8 and what you are coming soon, I didn't how--why it will take
9 so long for two years to come out as a report.

10 DR. ALLEN: Any comment?

11 MR. QUITTMAYER: The question was why it takes so long?

12 DR. IBRAHIM: Yeah.

13 MR. QUITTMAYER: Because we had too many people review
14 it.

15 (Laughter.)

16 DR. ALLEN: There's an answer for you. You're probably
17 right.

18 Allin Cornell?

19 DR. CORNELL: Yeah. I think to that same question, I
20 suspect strongly the models used are probably not going to be
21 unusual or unexpected. I think what is probably not well-
22 resolved is how you use experts in that process. There's a
23 number of us in the room that are still kicking that problem
24 around seriously for the next--what to do in the next ten
25 years, so I wonder what DOE has in mind in its topical report

1 with respect to that, and whether you anticipate doing
2 something new, different, of the possibilities open; that is,
3 basic previous studies, which of those might you be
4 following, an EPRI-like, Livermore-like, whatever. Has that
5 been resolved?

6 MR. QUITTMAYER: Well, I think the short answer is no.

7 DR. ALLEN: Incidentally, vis-a-vis what you said, I
8 agree with you. I think the ground motion problem is not
9 really a serious issue. In my opinion, the fault
10 displacement problem could be very, very tricky, because of
11 the multiplicity of faults we're now discovering, the width
12 of these fault zones, if they eventually have to be declared
13 potentially active.

14 It's very easy to say, yes, we can put in drift
15 emplacement. It's not quite so easy to say exactly how
16 that's going to solve this problem, and I guess my judgment
17 is that in the area of earthquake hazard, it's the fault
18 displacement problem in the long run that's going to be the
19 bigger hangup, and then trying to convince people, if that's
20 what we're trying to do, that that is a solvable problem.

21 DR. IBRAHIM: Also, it seems to me we are concentrating
22 also here on the larger vent, or the maximum earthquake in
23 the area, and I'd like to say that, also, we must put some
24 attention to the small earthquake, because within--after
25 post-closure, the canister will deteriorate and will be

1 crusted, and maybe the load from the small magnitude
2 earthquake will affect the capability of the canister to hold
3 the waste, so we should really be concentrating on some of
4 the small events, the multiple events, of course.

5 Small events occur like, what we know, that two,
6 three months or something like that, so the load from this
7 two event per month, what would be the effect on the canister
8 after, for example, 1,000 years, and we should take that in
9 consideration.

10 DR. ALLEN: Other comments?

11 DR. HO: Can I make one more comment?

12 DR. ALLEN: Dr. Ho.

13 DR. HO: I have a little bit uncomfortable feeling about
14 the way people present their results, their final
15 probabilistic results. For example, the annual probability
16 of site disruption was 10^{-8} . What did that mean?
17 Specifically, what did that mean? The annual probability of
18 site disruption is 10^{-8} . Can any of you answer that
19 question? What do you mean by annual, annual 10^{-8} ? Every
20 year we have a constant probability of disrupting that site,
21 or what, or the first year? And can we use that throughout
22 10^4 years?

23 DR. CORNELL: The answer to that, of course, depends on
24 whether you think the process is stationary in time. It
25 depends on whether you think the process has memory or not,

1 and it seems to me in the earthquake area, we've addressed
2 both those questions, and sometimes yes and sometimes no.

3 I also see that as exactly what you're kicking
4 around in the volcanic area, also. The question is, most
5 people seem to be posing their answer not in terms of the
6 annual probability, but the probability in 10,000 years. I
7 mean, what is the probability of one or more events in 10,000
8 years?

9 Now, so the question is, do you--that, of course,
10 that answer could be obtained either by multiplying the
11 annual rate by 10,000, if everything is stationary, et
12 cetera, et cetera, et cetera, and non-Poissonian, and
13 Poissonian, provided the numbers are small, all those
14 caveats, but I think the other question that we haven't heard
15 answered is what context, in what format do the assessment
16 people and the criteria people want their answers? I mean,
17 we haven't heard that, it seems to me, answered finally, and
18 I guess we don't have an answer to that yet, do we?

19 DR. HO: Yeah, but if we assume that the rate is
20 constant, the probability is constant, then we can use that.
21 It's that kind of standardized number to do the final
22 decision, but in this Yucca Mountain risk assessment, my
23 analysis indicated that the probability and the time is not
24 linear. So, therefore, you cannot divide the time in saying
25 that this is annual rate.

1 For example, one easy example may be best analogous
2 to this one. The doctors use the survival rate to let the
3 patients make decision whether--suppose you have a lung
4 cancer, and they say your five-year survival rate after
5 surgery is 85 per cent, 85 per cent. And now, if you divide
6 by five, what does that mean? It doesn't mean anything,
7 doesn't mean anything.

8 You don't make a decision based on the one year,
9 even though it is meaningful. Right. People say that your
10 first year, survival rate is 98 per cent, but when you hear
11 about a five-year survival rate is only 50, 45, then you
12 hesitate, so in that case, the way we present the final
13 result in terms of probability terminology should incorporate
14 time frame into that one, no matter whether it's linear or
15 not, and at this moment, my calculation indicates it's non-
16 linear, so it's not go linearly with time. So, the first
17 year times 10^4 , they mean the risk for the four are 10,000
18 years.

19 DR. CORNELL: I don't think anyone disagrees with you,
20 Dr. Ho.

21 DR. HO: Thank you.

22 DR. ALLEN: Peter Wallmann.

23 MR. WALLMANN: Bruce may want to make some comments
24 about the rate, because I think, geologically, we have to
25 decide--a consensus has to be reached of what is the rate

1 doing. Is it waxing, is it waning? Data is not specific one
2 way or the other, but, as Dr. Cornell mentioned, how do
3 performance people want this, I can't speak for the program,
4 I can only speak personally.

5 It's a distribution. That's all you can do. It is
6 possible to update that distribution as time goes on, if
7 necessary. So it can be done, it can be treated that way.
8 It need not be constant through time, but if one is going to
9 make it non-constant through time, I feel you need a
10 mechanistic argument to do that. You don't make models more
11 complicated just because it's fun to do. You do it with a
12 reason.

13 DR. MELSON: I would like to leave this just for a
14 second and add a new thing for you to think about.

15 Now, it seems to me the consequence analysis is
16 really moving to the fore. I think the importance of that
17 was certainly brought out by Gene's slide showing the
18 Tolbachik eruption, the great Tolbachik eruption and a heated
19 discussion which followed before lunch.

20 I think now it's time to be very specific in a new
21 way about the event, and what kind of event is it going to
22 be. Will it be a pyroclastic eruption, like the great
23 Tolachik eruption, which I think is highly improbable, or
24 will it be a smaller eruption that we see at some other
25 cinder cones? But I think this is a very important issue, or

1 will it simply be lava flow, with very little cinders at all?
2 So now we have a new probability within the consequence E3;
3 that is, what's the probability of certain kinds of
4 eruptions, and then that has to be integrated with design
5 characteristics to give us some idea of release.

6 If we have a great Tolbachik eruption through the
7 repository, I think we would all agree we have a very serious
8 problem.

9 MR. CONNOR: I think a PDF for explosivity is the
10 logical thing to go for, and I think everybody's going to try
11 to go that way, but now that we're back on probability, I
12 asked a question before. I probably didn't phrase it
13 succinctly enough.

14 It is that: When do you decide to reject a model
15 in your probability estimate? And, specifically, I want to
16 say that we've shown that there is statistical significance
17 to spatial and temporal clustering, even though there are few
18 vents. It's statistically significant with 90, 95, 99 per
19 cent confidence. It's very statistically significant.

20 I've shown that some models, heterogeneous models,
21 or non-homogeneous Poisson models, Markov models do a better
22 job at predicting where events are going to be based on
23 what's happened in the past than the homogeneous Poisson
24 model does.

25 Well, if we, in the end, need to incorporate a

1 range of models, which I think is appropriate, when do we
2 decide not to incorporate a model? Normally, in spatial
3 statistics, I think, you study the distribution, and that
4 gives you clues as to which model you want to use and which
5 model you don't use.

6 When I saw Peter's talk, where he defined a whole
7 bunch of different areas, I thought, yeah, this is a good
8 indication of the problems when using a homogeneous Poisson
9 model. Why not just move on? A lot of groups have in other
10 disciplines and it's, you know, why use--why stick with a
11 homogeneous Poisson model if the statistics show that's
12 probably not the best description and doesn't behave in the
13 best way through time?

14 DR. CROWE: I'll make it quick.

15 It really isn't a question of one or the other, and
16 that's what I've tried to emphasize in my presentation. It's
17 an issue of how do the probability distributions change, and
18 I think the only way--and we've tended not to reject it, and
19 if you noticed in my summary tables, I included your non-
20 Poissonian models in the distributions.

21 My position, from having been in this program for
22 awhile, is that if I make the decision to reject something,
23 the howls of protest drive me out, and so that's why I really
24 feel it's so critically important to go to expert judgment.
25 I think you have a variety of options under the rigorous

1 process of expert judgment.

2 You may not have to reject models. You may just go
3 to a weighting process, but I think the real bottom line is
4 incorporating a range of models and looking at their effects
5 and distributions, and if they're not sensitive, then you
6 don't need to worry about them. If they become sensitive,
7 then you use the expert judgment issue to begin dealing with
8 them, or perhaps send it back to the option of saying gather
9 more data to try to help us discriminate.

10 DR. WALLMANN: I mean, for one reason, you used it
11 because it was simplest and you weren't getting paid for your
12 time in doing it, but I think the other thing is, I don't
13 really think it's going to change the probability of
14 disruption in the repository a great amount if we cluster at
15 Lathrop Wells or if we cluster at Black Cone or in that area
16 unless we can devise a mechanism for generating 20 to 30
17 kilometer long dikes.

18 I would be happy if polycyclicality continued at
19 Lathrop Wells. I think it would have zero impact on the
20 repository.

21 DR. HO: I have a comment here.

22 I demonstrated that if I throw in two more data set
23 into that data set, the probability risk increased about 42
24 per cent, 42 per cent. If I change the prior, and then the
25 probability increased about 800 and something per cent. So

1 that is a demonstration saying that model data make a big
2 significant difference.

3 DR. WALLMANN: I've got to say one thing, Dr. Ho. Your
4 model was the least geologically defensible of any model.
5 You cannot geologically say the events will only occur
6 between Lathrop Wells and the northeast. The probability of
7 something going southwest in that area is just as great.

8 DR. ALLEN: We only have five more minutes here. I'd
9 like to ask if anyone has some other final statement they'd
10 like to make.

11 Dave Tillson, for example, on behalf of Carl
12 Johnson, do you have anything you would like to express in a
13 general way regarding this meeting, or anyone else?

14 DR. HO: Do I have a chance to answer this question?

15 DR. ALLEN: Excuse me. Out in the audience. Could you
16 make your name known, please?

17 MR. GIESE-KOCH: Gus Giese-Koch from the NRC.

18 I've been involved with the probabilistic seismic
19 hazard analyses both in Lawrence Livermore and EPRI. What we
20 came up with in the de-aggregation of the seismic hazard was
21 that the controlling earthquakes for the eastern United
22 States were very close to those earthquakes we used to define
23 the SSEs for all the plans, meaning that the probabilistic
24 studies gave results that were very close to what the
25 deterministic results gave. That gave us a good feeling.

1 Now, my question is this: If your seismic hazard
2 or volcanic hazard studies, probabilistic studies do not give
3 results that would be comfortable to those people, those
4 experts who say, this is possible, this is not possible,
5 which way will you go?

6 DR. ALLEN: I'm not making the decision.

7 Any response to that? Keitti, you've thought about
8 these kinds of things.

9 DR. AKI: I am not expert in these things.

10 MR. STEPP: I think, from a regulatory point of view,
11 the power of probability approaches is that you can answer
12 those questions, and you can determine what it means to the
13 outcome by saying, this is not credible, and giving it zero
14 weight; or, this is absolutely the only model, giving it a
15 weight of one. That's what probabilistic modeling can do for
16 you.

17 DR. ALLEN: I would only say that if you have a major
18 difference within your probabilistic and your deterministic,
19 you damn well better find out why and not go for either one
20 until you have some understanding of why those differences
21 are the way they are.

22 DR. CORNELL: I would point out that this notion of the
23 deterministic earthquake is not a unique--there's not a
24 unique definition of it. In California--that's what I tried
25 to say in my opening remarks yesterday.

1 In a California situation, where we have high
2 recurrence rates for earthquakes near the maximum value; that
3 is, you know, what you obtain by looking at the fault length
4 and back-figuring a maximum earthquake, yes, you have a
5 deterministic earthquake, and the earthquake that controls
6 the hazard is the same and, hence, you're going to get out of
7 a probabilistic, de-aggregated probabilistic analysis. You
8 ought to focus on what used to be called the deterministic
9 earthquake.

10 The confirmation that Gus refers to that we got in
11 the east is, in fact, for a very different situation. There,
12 the deterministic earthquake was, as someone, I think, Kevin
13 described, sort of the maximum historical, plus maybe half of
14 a magnitude unit. It was pushed a little ways from the site
15 because we didn't think it was reasonable to put it right
16 under it. I'm sure Leon will confirm that we know--we have
17 no reason to believe this is the worst thing that can happen,
18 and it was a reasonable judgment, and it was fives and five
19 and a halves.

20 If we go to what--if we look at what the experts in
21 Livermore and EPRI studies said the maximum possible
22 earthquakes were in those zones, they are, as has been shown
23 by O'Hara and others at Yankee, a good half a magnitude
24 larger than--that is, what we're saying is that the
25 deterministic max is a good half a magnitude larger than the

1 deterministic design basis earthquake that was being used in
2 the east, and that was quite right because there were low
3 recurrence rates.

4 DR. ALLEN: What you're saying is--

5 DR. CORNELL: Now, the problem is we have Yucca
6 Mountain, which is in neither--doesn't fit naturally into
7 either of those two real situations.

8 DR. ALLEN: What you're saying is that the maximum
9 dreadable earthquake is somewhat higher than the maximum
10 credible earthquake?

11 DR. CORNELL: Exactly, exactly, and so it's not--I don't
12 know which deterministic procedure you should use in Yucca
13 Mountain, but I think probability will give the same answer.

14 DR. BUDNITZ: I think the slide I showed yesterday is
15 living proof that a deterministic doesn't make any sense at
16 all. Using deterministic, some of the SSEs were 10^{-3} per
17 year and some of them were 10^{-6} per year, using exactly the
18 same procedure for a six or eight-year period between 1967
19 and 1975.

20 DR. ALLEN: Leon Reiter's shaking his head.

21 DR. BUDNITZ: I know he is, but I'm just telling you
22 that that tells me--and some of them were sites that were
23 only 30 miles apart.

24 DR. REITER: But, Bob, the greatest impact upon
25 determining the SSE has nothing to do with which earthquake,

1 but the ground motion attenuation, and that's the main reason
2 for the dispersion, not the choice or the size of the
3 earthquake.

4 DR. ALLEN: Well, I'm going to call it quits here after
5 one final statement from a member of the audience, or a
6 question.

7 MR. LANG: I'm Hank Lang from the M&O in Washington.

8 I'd like to get back to the topical report, and,
9 actually make a couple points that, number one, the topical
10 report really helps us resolve issues. It's an issue
11 resolution format to make differences aired, to have the
12 experts say yes, no, maybe, and come to a bottom line,
13 because it drives into the 10 CFR 60 regulations, X, Y, Z,
14 however many, and that feeds into the NRC.

15 And the topical report will also feed into the
16 annotated outline, which is driven then as the license
17 application end result for the FCRG, the reg guide.

18 Now, if suddenly we take Paul Pomeroy's suggestion
19 and say, DOE, time out, stop. Use EPRI, use probabilistic,
20 deterministic, bring in the experts, and as I have listened
21 to the experts here, they're going to have to resolve their
22 own issue resolutions, because they can't seem to come to a
23 point. Do we save any time by following your approach?

24 MR. POMEROY: In the interest of time, yes, I think you
25 do.

1 DR. ALLEN: Well, in the interest of time, I'm going to
2 call it quits here, and I want to end by thanking, on behalf
3 of the Nuclear Waste Technical Review Board, thanking all of
4 you, particularly thanking the consultants who came here for
5 us, thanking the DOE for being tolerant and allowing us to
6 hold this meeting and take some of you people away from your
7 work on the site. I particularly appreciate the
8 participation of the NRC, which I realize was difficult, in
9 some degree awkward, and for everyone here, from the M&O, and
10 so forth, many, many thanks.

11 I've personally found this very revealing in terms
12 of understanding some things we know, some things we don't
13 know, some areas where, clearly, we have some further
14 understanding to make.

15 John Cantlon, as Chairman of our Board, would you
16 like to say any final words?

17 DR. CANTLON: Well, I would just follow your lead and
18 thank all of the participants. I think these kinds of panel
19 exchanges are really the raw material that go into the Board
20 to make our comments to DOE and to Congress, and I think this
21 last discussion of why seismic lags behind volcanic, it's
22 interesting. We didn't know that in any kind of detail until
23 just a few minutes ago, so I think these kinds of frank,
24 candid exchanges at the end of the panel meetings are
25 absolutely essential to keeping the Board posted so that we

1 don't go off half-cocked.

2 Thank you.

3 DR. ALLEN: Yeah. And, finally, let me thank Leon
4 Reiter for doing all the work and many of the ideas that led
5 to this workshop.

6 Thank you very much.

7 (Whereupon, at 4:00 o'clock p.m., the meeting was
8 adjourned.)

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24