

1 — UNITED STATES OF AMERICA
2 NUCLEAR WASTE TECHNICAL REVIEW BOARD

3 ***

4 COMBINED HG&G/SG&G PANELS:
5 MEETING ON THERMAL MANAGEMENT
6 FOR A HIGH-LEVEL REPOSITORY

7 ***

8 The Dupont Plaza Hotel
9 Embassy Hall A
10 1600 New Hampshire Avenue, N.W.
11 Washington, D.C.

12
13 Friday, November 18, 1994
14

15 The above-entitled meeting commenced, pursuant to
16 notice, at 8:30 a.m.
17
18
19
20
21
22
23
24
25

PARTICIPANTS:

1 John E. Cantlon, Chairman
2 Edward J. Cording, Member of the NWTRB
3 Donald Langmuir, Member of the NWTRB
4 John J. McKetta, Member of the NWTRB
5 Patrick A. Domenico, Consultant to the NWTRB
6 Dennis Price, Consultant to the NWTRB
7 Ellis D. Verink, Consultant to the NWTRB
8 William D. Barnard, Executive Director, NWTRB
9 Dennis G. Cordie, Deputy Executive Director, NWTRB
10 Russell McFarland, Senior Professional Staff,
11 NWTRB
12 Victor Palciauskas, Senior Professional Staff,
13 NWTRB
14 Leon Reiter, Senior Professional Staff, NWTRB
15 Daniel Fehringer, Senior Professional Staff, NWTRB
16 Carl Di Bella, Senior Professional Staff, NWTRB
17 Daniel Metlay, Senior Professional Staff, NWTRB
18 Sherwood Chu, Senior Professional Staff, NWTRB
19 Nancy Derr, Director, Publications, NWTRB
20 Paula Alford, Director, External Affairs, NWTRB
21 Frank Randall, Assistant, External Affairs, NWTRB
22 Dwight Shelor, OCRWM
23 Stephen Brocoum, YMSCO
24 Steven Saterlie, M/O, TRW
25

PARTICIPANTS [continued]:

1 Srikanta Mishra, M&O INTERA
2 J.J. Farrell, M&O
3 Donald (Buz) Gibson, M&O, TRW
4 Ardyth Simmons, YMSCO
5 William Halsey, LLNL
6 Thomas Buscheck, LLNL
7 John Pott, Sandia National Laboratories
8 William Boyle, YMSCO
9 Steve Frishman, State of Nevada NWPO
10 John Kessler, EPRI
11 Karsten Preuss, LBL
12 Todd Rasmussen, University of Georgia
13 Randy Bassett, University of Arizona
14 Dan Bullin, Iowa State University
15 David Stahl, M&O, B&W Fuel Company
16
17
18
19
20
21
22
23
24
25

C O N T E N T S

1	AGENDA ITEM/SPEAKER	PAGE
2	WELCOME/INTRODUCTION/OVERVIEW	305
3	REVIEW OF ONGOING ANALYSES	
4	THERMAL LOADING SYSTEM STUDY UPDATE	307
5	TOTAL SYSTEMS PERFORMANCE ASSESSMENT UPDATES	323
6	STATUS OF THE THERMOHYDROLOGIC REVIEW EVALUATION TEAM	356
7	IN SITU TESTING REQUIREMENTS	
8	UNDERGROUND HEATER TESTS	372
9	UNDERGROUND TEST COORDINATION	422
10	SUMMARY	435
11	PERSPECTIVES	
12	STATE OF NEVADA	444
13	ELECTRICAL POWER RESEARCH INSTITUTE	457
14	ROUNDTABLE DISCUSSION	466
15	COMMENTS FROM THE AUDIENCE	497
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

P R O C E E D I N G S

WELCOME/INTRODUCTION/OVERVIEW

1
2
3 DR. LANGMUIR: Please be seated. I'd like to
4 welcome you all to the second day of the HG&G and SG&G, our
5 favorite acronyms, for this Board panel's meeting on thermal
6 management for a high level waste repository.

7 Yesterday we heard about the DOE's program
8 approach to thermal management strategy. Perhaps the one
9 word that best summarizes this strategy is flexibility.
10 This is good to hear, that this flexibility has been now
11 brought into the program.

12 We also heard about thermal management options
13 concerning waste acceptance, storage and transportation.
14 Again, the options and flexibility in the system thermal
15 management strategy is well articulated and emphasized.

16 In the afternoon, we heard about plans to evaluate
17 a couple of processes, and how Yucca Mountain would respond
18 to thermal loads, whether high or low, and the advantages or
19 disadvantages of the various strategies. Perhaps the one
20 single feature that stands out is that the geologic-
21 hydrologic heterogeneity of the mountain is still not fully
22 characterized, or sufficiently characterized, and has,
23 therefore, not been fully reflected in the modeling.

24 So, thermal testing, thermal loading system and
25 performance studies will be necessary for understanding the

1 merits of the various thermal management strategies. And
2 this is what we're going to hear about this morning.

3 I thought I'd mention something that came to me
4 yesterday, though, that I thought you might appreciate. I
5 discovered that this whole program is built on the back of
6 envelopes and I -- all the best thoughts and the greatest
7 thoughts people are having are on envelopes, and I felt that
8 we could probably speed this whole program up if we -- and
9 I've set up a company, I need investors for this -- we're
10 going to make envelopes that have two backs to them and
11 provide them at the beginning of each of these meetings in a
12 looseleaf binder. So, I'm looking for investors.

13 One other trivia. I learned some new acronyms
14 yesterday. I found out that 3-M is not a company in
15 Minnesota. It's a manmade material, and that a "groaner" is
16 a geologic repository operations area near the north ramp.

17 We'll start out this morning with a presentation
18 by Steve Saterlie. His title is terminal loading systems
19 study update.

20 Steve.

21 DR. SATERLIE: Thank you.

22 Okay. Well, yesterday you heard a little bit
23 about -- you heard several people talk about the fact that
24 we're starting to put together test programs, and one of the
25 things that we're trying to do in this system study is to

1 provide some analysis that would help guide us in those test
2 programs as to what particular parameters, what range of
3 parameters we need to do measurements over.

4 And, so, with that in mind, that's where this
5 system study, the last number of months and continuing on
6 into this year, has been working.

7 I'm going to give you a bit of an update of the
8 work that's in progress right now, talk to you a little bit
9 about the study objective, and I'm going to give you some
10 examples. I'm not going to provide you with the entire set
11 of calculations, that would take too long, although there is
12 a report out, an interim report right now, which I don't
13 know if you've got a copy of it -- if you haven't, we can
14 certainly send you a copy.

15 REVIEW OF ONGOING ANALYSES

16 THERMAL LOADING SYSTEM STUDY UPDATE

17 [Slide.]

18 DR. SATERLIE: Waste stream variability, we'll
19 talk a little bit about that. You heard about a little bit
20 of it from Buz Gibson yesterday, and I'll show you some
21 calculations in the potential repository.

22 I'll talk to you about effective depth variations,
23 some diffusion, diffusive gas flux calculations, and then
24 summarize.

25 [Slide.]

1 DR. SATERLIE: I'm going to skip the next two.
2 You've seen those before. I mainly wanted to identify that
3 what we were concentrating on was the -- doing the analysis
4 to make some recommendations for testing.

5 [Slide.]

6 DR. SATERLIE: So, the objectives of the study
7 were originally, when started, were twofold -- provide
8 recommendations to the design of testing to do the
9 sensitivity analysis, look at the range over which
10 parameters may affect waste isolation, and then, if
11 possible, make some recommendations to further narrow the
12 range of thermal loading.

13 [Slide.]

14 DR. SATERLIE: Out of a number of things that
15 we've looked at, we've seen some areas where there have been
16 changes as a function of thermal loading that might affect
17 waste isolation. These probably come as no surprise to you;
18 you've heard speculations in the past and things like that.

19 But both permeability and diffusive gas flux, the depth of
20 the repository, and we'll talk more in detail about that,
21 some thermo-mechanical effects, and I won't show you those
22 calculations, but I'll summarize the results.

23 Waste stream variability, and then I'm going to
24 give you a quick summary of some performance-confirmation
25 monitoring estimates that we did.

[Slide.]

1
2 DR. SATERLIE: Okay. One of the things that Buz
3 Gibson talked about was this waste stream variability the
4 other day. And he talked about the fact that the fuel that
5 we've been looking at, both the youngest fuel first and the
6 oldest fuel first. As you recall, the '93 study was based
7 on the youngest fuel first, which was a bit hotter and in
8 that respect we felt somewhat conservative in running the
9 calculations. These are the average values of the age of
10 burnup of those fuels.

11 The program approach right now and the analysis
12 conducted to date is changing the reference to the oldest
13 fuel first reference. And so we've been shifting the
14 calculations and starting to run some calculations with
15 oldest fuel first.

16 What you're going to see today and part of the
17 problem was that some of these calculations are very
18 complicated and it's very difficult to make changes and
19 rerun a whole set of calculations, so you're going to see
20 some apples and oranges today. There's going to be some
21 calculations run with the youngest fuel first and there's
22 going to be some calculations run with the oldest fuel
23 first, but we're moving toward making a lot of -- redoing
24 the calculations with oldest fuel first, so bear that in
25 mind.

1 And this is the average ages in burnups of those
2 fuels.

3 What I'm going to show you first is some
4 calculations. You saw Buz Gibson's calculations yesterday,
5 just the heat output of the waste packages. What I'm going
6 to try to do is show you some calculations that were done in
7 the potential repository using a heat conduction model, and
8 the actual temperatures that are predicted in the rock and
9 the variability in those temperatures.

10 And so, this one because of the case that had been
11 run, a very large case, we were only able to strip out
12 certain sets of drifts and replace them with --

13 What was done, we took three years worth of fuel
14 and we identified one of those years had the highest
15 variability in fuel that was received, the waste stream.
16 And so, we stripped out three drifts in this calculation,
17 reran the calculations, then overlaid them. This was done
18 by Sandia, at our request.

19 And -- but because we had to do that, we had to
20 use the youngest fuel first and some of those heat outputs
21 I'll show you in a minute, where we approach really high
22 values.

23 Buz showed you yesterday the oldest fuel first.
24 There is now some limits placed on the canisters and that
25 requires, the case we're looking at -- later on in the

1 calculations, that about 600 of the large capacity waste
2 packages would have to be derated.

3 [Slide.]

4 DR. SATERLIE: These look like this. I hope that
5 -- I don't know if you have black and white or color, but --

6 The green values are the oldest fuel first, and
7 you can see that those are cut off around 14. It's actually
8 a little bit higher because this is the actual selection at
9 the utilities, and the red is the '93, you can see that in
10 some cases you get the fairly high fuel heat outputs.

11 [Slide.]

12 DR. SATERLIE: Now, the calculations that were
13 done were done with a conduction model. Let me put two up
14 here.

15 [Slide.]

16 DR. SATERLIE: What I've got here is really --
17 let's see. I think it's best to put them this way.

18 I don't think that those are going to come out
19 quite as good as I hoped.

20 These were done at about 78 MTU per acre.

21 No, that one's not going to come out very good at
22 all.

23 And I've done -- selected two times here; at 23
24 years, and at 70 years, and what you've got here is about 12
25 drifts. There's three years worth of fuel went into about

12 drifts.

1 Here's the distance scale. And what we found, the
2 yellow -- thank you -- the yellow gives you kind of the
3 average that was calculated. This doesn't mean zero
4 temperature. This was the average that was calculated for
5 that 78 MTU per acre. The temperature calculations were
6 done and pulled off at about five meters into the rock above
7 each drift. And that's where these temperatures are
8 selected.

9 And what it shows here, though, is that in some
10 places now we have fairly -- this is actually is an increase
11 in temperature, even though it says minus 70 versus a
12 decrease in temperature from the average value that was
13 calculated.

14 So, what this means, red near a green is that you
15 have roughly about 100 degrees C difference over a distance
16 that's about 20 to 50 some meters.

17 DR. VERINK: These are in meters?

18 DR. SATERLIE: These are in meters, yes. Sorry I
19 didn't label that. And those are in meters --

20 DR. CANTLON: Is that the vertical access?

21 DR. SATERLIE: This is a plan view, yeah.

22 No, no, I'm sorry, this is a longer drift.

23 DR. CANTLON: Plan view.

24 DR. SATERLIE: Plan view, yes.
25

1 And you see that at 70 years this is dropped off
2 quite a bit and averaged out, but there's still some spots
3 that are hotter and cooler than others, and these do last
4 for a sufficient period of time.

5 Here we're looking at about 50 degrees difference,
6 for the most part, between those same areas. So the point
7 of that is we've got some calculations -- we need to look at
8 this a bit further, but there's a significant amount of
9 variation that can occur.

10 Now, this is somewhat unfair for two reasons.
11 First of all, as I told you, we selected just the youngest
12 fuel first without any limits placed on it. And this was
13 also randomly selected from those period of years.
14 Hopefully, we would be a little bit smarter at selecting the
15 fuels and placing them -- thermally manage them, as we say.
16 But that's certainly a concern that we have to face and it
17 shows the range of temperatures that we need to be concerned
18 with.

19 [Slide.]

20 DR. SATERLIE: Another thing that we looked at was
21 the fact that the repository is not at a constant depth.

22 [Slide.]

23 DR. SATERLIE: If we go to the next chart here,
24 this is a side view taken -- this is not the surface of the
25 mountain. What this is is 200 meters below the surface.

1 It's a contour that was run, that the folks ran to show the
2 limits that they wanted to place on the depth of burial. So
3 the mountain surface actually is up here, but it follows
4 these contours 200 meters higher.

5 This happens to be one view. This is the primary
6 area and this is another lower block emplacement area that I
7 think you've heard about a number of times. Here is an
8 estimate of the water table. Of course, in a different
9 direction, this can have different distances, as well.

10 [Slide.]

11 DR. SATERLIE: What we did is we selected certain
12 points in there and found that the depth of over-burden
13 varies from about 200 meters to about 430 meters over that
14 range. We ran some calculations. Tom Buscheck helped me
15 run those calculations. But what we did was we simulated
16 the -- as if it was all buried at 200 meters and then we
17 simulated as if it was all buried at 430 meters, using the
18 VTOUGH code, axi-symmetric uniform heat distribution.

19 Along those same lines, the depth of the water
20 table varied from about 110 to 359 meters.

21 DR. BUSCHECK: It was for YFF.

22 DR. SATERLIE: It was for YFF.

23 DR. BUSCHECK: So we could compare it to our past
24 calculations. These calculations were done for YFF so we
25 could compare it to our previous calculations.

1 DR. SATERLIE: Okay. I'm sorry. So make that
2 change, if you would, please, on there.

3 [Slide.]

4 DR. SATERLIE: What I'm going to do is just show
5 you an example of a couple of the cases that were run here.
6 There were a number of cases run. Here are the predictions
7 at fairly high thermal loading, 110 MTU per acre, at 1,000
8 years. What we wanted to do was see how the temperature and
9 the time history of that temperature and the liquid
10 saturation changed.

11 So what I've plotted is depth below the ground
12 surface. You see the repository, potential repository drawn
13 in here at 200 meters, and the potential repository here
14 drawn at 430 meters.

15 What these different calculations are are the --
16 this is for the center of the repository. This is for part-
17 way out, about -- is that 50 percent out, 75 percent out,
18 and then almost 85 to 90 percent out in the radial ring
19 towards the edge.

20 You see the -- in this case, I think there are
21 boundary conditions similar to what was used. So we
22 restrict the ground temperature to about -- what was it --
23 13 to 20 degrees. I can't remember what it was.

24 DR. BUSCHECK: It was 13 to 31 at the water table.

25 DR. SATERLIE: Right, 31 at the water table.

1 DR. BUSCHECK: Except we adjusted it for the other
2 -- we have a constant geothermal gradient. It's not quite
3 the same at the water table. We have a constant geothermal
4 gradient. So it's slightly different on the left and on the
5 right, but we have a consistent geothermal gradient in those
6 two models.

7 DR. SATERLIE: You'll see in this case we have
8 high temperatures. Here is the boiling front and it goes
9 considerable distances. What was found was that the time
10 that it stays above a certain temperature increases as you
11 go deeper into the rock, which probably comes as no
12 surprise. It actually increases by a factor of three.

13 [Slide.]

14 DR. SATERLIE: Here are the saturation profiles,
15 the liquid saturation profiles. If you recall, about 68
16 percent is the value that occurs at the repository horizon.

17 Actually, no, that's a little bit different because what
18 was done was the liquid saturation gradient with height was
19 taken and the values at 200 meters were used as the starting
20 point. The value at 430 meters was used. So that differs a
21 little bit from what we originally considered, about 68
22 percent at about 340 meters.

23 So that's all laid out in the report. The point
24 is that you see we get these saturation regions building up.

25 Now, as Tom Buscheck said yesterday, we're starting to look

1 at changing these boundary conditions, the relative humidity
2 at the surface, and we need to look further at what the
3 effects of those are going to do for us.

4 [Slide.]

5 DR. SATERLIE: We did some calculations with
6 diffusive gas flux. The gas diffusion coefficient is given
7 in terms of the pressure and temperature and a binary water
8 vapor and air diffusion parameter. We looked at a couple of
9 values of beta. One value which can vary somewhat has been
10 estimated for tuff to be about 10-to-the-minus-2. This
11 reflects the tortuosity, the porosity, and the gas
12 saturation of the rock.

13 However, there is some other literature out there
14 for soils that for porous media, beta, this binary diffusion
15 coefficient may be one, or even a bit higher. So what we
16 did was we selected these two values -- actually, this value
17 changes a little bit as the temperature increases --
18 selected those and ran calculations.

19 [Slide.]

20 DR. SATERLIE: Now, I don't think it's necessary
21 to concentrate too much on the actual values here, the
22 magnitudes that were done, but the important thing to note
23 is that this was done for a low thermal loading case, 24 MTU
24 per acre. What we found here is this is the value taken for
25 the first estimate for tuff the 10-to-the-minus-2. This is

the much higher value beta.

1 What this shows is that we get a significant
2 amount of dry-out into the rock at this higher value of
3 beta. Right now this is the degree of uncertainty that
4 exists in this parameter. So it goes from getting almost no
5 dry-out at these low thermal loads to getting a significant
6 amount of dry-out. That's the kind of parameter and the
7 kind of measurements that we have to make and try to
8 determine how much dry-out is going to exist in those rocks.
9 That will have to be done through measurements.

10 [Slide.]

11 DR. SATERLIE: All right. Let me try and
12 summarize the results that we've had. As I indicated, the
13 fuel variability has been examined. We're changing to
14 oldest fuel first. However, using the youngest fuel first
15 and the conditions we did, we find areas that are excursions
16 of plus or minus 50 degrees Centigrade within a 20 to 50
17 meter space.

18 I didn't show you any calculations of
19 thermomechanical effects, but we did have a number of
20 thermomechanical calculations that were done. We did it for
21 a couple of thermal loads, 83 and 111 MTU per acre. What we
22 found was there was a stability criteria that we looked at
23 for the rock and at the highest thermal load, we exceeded
24 that stability criteria.
25

1 We didn't exceed it at 83, but there was some
2 question of rock movement and it appeared that some tunnel
3 support would be required between these values. We want to
4 have the subsurface people take a longer look at that and
5 tell us, indeed, what kind of tunnel support would be
6 required at each of those thermal loads. Of course, then
7 we'd factor that into a cost ultimately.

8 In the monitoring issue, there has been a question
9 of performance confirmation, what kind of instrumentation
10 are we going to be using or need to use in the drift. What
11 kind of measurements are we going to be able to make? Are
12 we going to have to put these instruments in the drift and
13 leave them there and what does that entail as far as the
14 type of environment it would be subjected to, or can we use
15 a robot to send these instruments in there and make
16 occasional measurements?

17 So we went through a fairly extensive examination
18 of that and determined, at least on a first order sense,
19 what measurements we felt needed to be made in situ in the
20 drift over a long period of time and what others could be
21 made on a routine basis that you could send the instruments
22 in.

23 I don't know if you recall -- from the '93 study,
24 we had made a very, as they say, a back-of-the-envelope
25 calculation of what we felt the temperature limit that we

1 could put instrumentation at, and that was about 160 degrees
2 Centigrade. Well, a lot of others said, "Gee, you can use
3 robotic equipment, you could put the instruments off." So
4 in doing that, in looking at that, what we found, though,
5 was for those few measurements that did have to be in situ,
6 that at this point in time, the best we could do was, we
7 felt -- and we talked to a lot of instrumentation companies
8 about this -- that 200 degrees C might be possible.

9 I say might because these instruments are
10 currently not off-the-shelf, but they felt that there were
11 some changes that they could do to do their instruments that
12 would put them at 200 degrees C.

13 So right now that leaves us with a range from, I'd
14 say, between 160 and 200 degrees C that may be possible.
15 The point of it is it's a study that now can be taken by
16 some of the subsurface people and some of the
17 instrumentation people and can be used as a starting point
18 to go further.

19 [Slide.]

20 DR. SATERLIE: Bulk permeabilities, we've talked a
21 little bit about that in the past and I didn't show you any
22 data. The current range of uncertainty in those parameters
23 for the Topapah Springs, the TSw2 level, is about .1 to 10
24 Darcy, about two orders of magnitude. At the 1 Darcy or
25 above level, you get a significant increase in the gas phase

convection.

1
2 Diffusive gas flux sensitivities depend on the
3 connectivity of the pores and fractures, and I showed you
4 some examples of that. The current range of uncertainty is
5 about two orders of magnitude and that can make a big
6 difference in how much drying you actually get in the rock.

7 I showed you some examples of repository depth
8 sensitivity. The repository varies from about 200 to 430
9 meters in depth from the surface. The liquid build-up and
10 temperatures were found to depend on this. For example,
11 going from 200 meters depth to 430 meters depth essentially
12 triples the time that a repository stays above a given
13 point. For example, if you wanted to take it at 50 degrees
14 C or 80 degrees C, it would triple the time that it would
15 stay there at the deeper depth.

16 [Slide.]

17 DR. SATERLIE: All right. We've got a number of
18 further parametric studies planned or underway. We want to
19 complete the waste stream variability and we want to look at
20 the oldest fuel first now, which I think will be a lot more
21 moderate, do some drift-scale hydrothermal calculations, and
22 we want to couple these with ventilation calculations. We
23 want to really investigate some of these thermal management
24 issues that have been talked about in the last day.

25 We've got some work in progress right now to look

1 at the spatial variations in thermal conductivity in the
2 rock and what that effect has. We've got some further
3 hydrothermal calculations we want to look at.

4 [Slide.]

5 DR. SATERLIE: On the thermomechanical, as I said,
6 some of the things we want to have looked at are possibly
7 have subsurface give us some input about what types of
8 tunnel support might be needed. Those kind of interactions
9 need to go on so that they can be looking at their designs,
10 as well. We need to look further at dual porosity effects,
11 the fracture-pore interaction and how much of the flow
12 really is in the fractures, and then eventually develop
13 recommendations for testing by the end of the year.

14 I don't know how successful we'll be with some of
15 those. Some of those calculations are very difficult.

16 [Slide.]

17 DR. SATERLIE: Essentially, where we are is we've
18 done the scoping calculations, as I told you yesterday. You
19 saw this chart yesterday. Where we're at right now is to
20 try to provide some recommendations for the test program so
21 that we can better define those test programs. Then once
22 the data comes in, we will start making recommendations as
23 to the final thermal loading.

24 Thank you very much.

25 DR. LANGMUIR: Thank you, Steve. We are a little

1 behind schedule. So let's hold questions and we will have
2 an opportunity, perhaps before lunch and certainly at the
3 roundtable, for questions for Steve Saterlie.

4 Our next presentation is total systems performance
5 assessment, an update. Bob Andrews was sick with food
6 poisoning, I'm told. So Srikanta Mishra of INTERA will be
7 giving the presentation for him.

8 TOTAL SYSTEMS PERFORMANCE ASSESSMENT UPDATES

9 [Slide.]

10 DR. MISHRA: Good morning. I am giving Bob's
11 presentation of his viewgraphs. So occasionally I hope I
12 will be allowed to trip and miss a few subtle or maybe not
13 so subtle points that he wanted to make.

14 What I want to do in this presentation is to talk
15 a little bit about the updates to the total system
16 performance assessment calculations that the M&O's
17 Performance Assessment Department has carried out. In
18 January of this year, the Board heard detailed presentations
19 about the TSPAs carried both by the M&O and the Sandia
20 National Labs and since then we have added some other
21 calculations.

22 The intent is to provide a performance assessment
23 perspective through the discussion going on over the last
24 day and today on the general issue of thermal management.

25 [Slide.]

1 DR. MISHRA: I will begin by reviewing some of the
2 key elements of the isolation arguments and the potential
3 effects of alternate thermal loads on these and summarize
4 the fundamental thermo-hydrologic assumptions affecting the
5 TSPA-1993 results. Basically, the intent of these two
6 bullets is to talk a little bit about how thermal loading
7 affects the general issue of performance, whether it be with
8 a generic discussion on isolation argument, or whether it's
9 the specific discussion on performance measures as embedded
10 in the total system performance assessment calculations.

11 Then I will move on to talk a little bit about the
12 sensitivity, the original sensitivity calculations. Moving
13 on to the additional sensitivity analysis, the total system
14 performance assessment results, and also discuss some extra
15 calculations that we did using drift-scale thermo-hydrologic
16 analysis. Both of these, again, answer the question as to
17 what is the sensitivity of performance to thermal loading in
18 a specific sense. Then we use these results to gain some
19 insights and present some preliminary plans for the TSPA in
20 1995.

21 [Slide.]

22 DR. MISHRA: This is a modified form of the key
23 components of the waste isolation argument that was
24 presented to the Board by Jean Younker last month.
25 Essentially, the argument is that we anticipate a dry

1 environment within the engineered barriers. We expect to
2 have robust engineered materials for those packages that are
3 expected to be contacted by liquid water and/or humid air.
4 We anticipate slow dissolution of the waste matrix due to
5 limited availability of water and low solubility of
6 radionuclides.

7 We also anticipate slow release of radionuclides
8 through the engineered barrier, once again due to the
9 limited availability of water and because of the low
10 permeability of the matrix in the geosphere, a slow release
11 of radionuclides and migration to the accessible
12 environment.

13 [Slide.]

14 DR. MISHRA: So now let's talk a little bit about
15 which of these components of the waste isolation arguments
16 are impacted by thermal loading. Essentially, the impact
17 comes because the emplacement of heat-generating waste in
18 the repository impacts the environment in the vicinity of
19 the waste packages in the drift. So the thermo-hydrologic
20 regime within the drifts is a very important aspect in the
21 performance of the waste packages and ultimately of the
22 engineered barrier system.

23 The degradation of the waste packages, in that the
24 initiation of the aqueous corrosion and its rate, will be
25 impacted by the thermo-hydrologic regime. The rate of waste

1 form dissolution will also be impacted by the thermo-
2 hydrologic regime and the release and the migration of
3 radionuclides in terms of radionuclide solubilities in
4 liquid water and the advective and diffusive fluxes are also
5 impacted by the thermo-hydrologic regime.

6 And by the thermo-hydrologic regime, I basically
7 refer to the temperature conditions, the humidity conditions
8 and the saturation conditions as they exist in the vicinity
9 of the waste packages and in the drift.

10 [Slide.]

11 DR. MISHRA: Let me digress here a little bit and
12 put up this chart, which is not in your handouts. But I
13 thought it might be interesting to talk a little bit here
14 about -- to go back one step and maybe talk about the
15 overall scope of performance assessment. This is a bubble
16 diagram that you have all seen before in a variety of forms.

17 The only difference here is that I have tried to highlight
18 in red those bubbles or those components of the waste
19 disposal system that essentially are impacted by the thermal
20 loading process. What is shown in these different colored
21 text is that where the appropriate regulations start to kick
22 in.

23 For example, waste package degradation would lead
24 to an evaluation of substantially complete containment, in
25 combination with waste form alteration, waste package

1 release and engineered barrier release and gives rise to the
2 release from the engineered barrier system. So this is the
3 other regulatory requirement -- gaseous and aqueous release
4 to the accessible environment, those come in here and here,
5 and finally we get to the dose standards.

6 As Scott Sinnock tried to point out, in any
7 evaluation of the waste disposal system, it is important to
8 have in mind what is the appropriate performance measure. I
9 would like to submit that from the perspective of the total
10 system performance assessment, these are the performance
11 measures because these are directly tied to the regulatory
12 requirements. In our analysis, we will always be focusing
13 on how the system behaves with respect to these performance
14 measures.

15 [Slide.]

16 DR. MISHRA: So having identified that the thermo-
17 hydrologic regime does, in fact, or is likely to, impact the
18 performance of the waste package system and ultimately the
19 engineered barrier system. Let's talk a little bit about
20 how these have been implemented in the total system
21 performance assessment process.

22 In the first iteration of total system performance
23 assessment done for Yucca Mountain, which was TSPA-1991, the
24 internal pulse was implemented in a very simplistic way. We
25 just assumed that for the first 300 years, I think it was

1 300 years, that it -- basically, what it did was it caused a
2 delay in the contact of water with the waste packages. What
3 we tried to do in TSPA-1993 is to modify it in a way that we
4 could identify the exact thermal dependencies and perhaps
5 begin to implement these thermal dependencies, albeit in a
6 simplistic format. So this is essentially a recalculation
7 of what was done.

8 We started by developing a panel-scale thermo-
9 hydrological model to predict the temperatures and
10 saturations in the linear field. But, of course, there's a
11 disconnect there in that we're trying to match information
12 obtained from one scale and apply it at a different scale.
13 What that leads to is it leads to an under-prediction in the
14 expected waste package temperatures and as a consequence, an
15 over-prediction would be expected in drift scale
16 saturations.

17 I will talk about how we have improved upon this
18 representation. This is what was done in the original
19 version of TSPA-1993. Once we had the temperatures and the
20 saturations, then we used either a temperature criterion or
21 a liquid saturation criterion to initiate corrosion. These
22 criteria are as follows. We assumed that aqueous corrosion
23 is initiated either when the temperature of the waste
24 packages drops below the boiling point of water, which is 96
25 degrees C, or when the saturation of the environment right

1 next to the waste packages is above the residual saturation
2 of that medium, the assumption there being that once the
3 saturation goes above the residual saturation, you have a
4 continuous liquid fill which is allowed to contact the waste
5 packages and, hence, initiate aqueous corrosion.

6 Once again, what this does is, particularly for
7 the liquid saturation criterion, it provides very early
8 initiation of aqueous corrosion, and that's a very
9 conservative assumption. The corrosion rates were also
10 considered to be temperature-dependent. What this does is
11 once you start to initiate the corrosion process based on
12 the saturation criterion at a very early time, you get very
13 high corrosion rates, and I'm saying that's a very
14 conservative assumption.

15 [Slide.]

16 DR. MISHRA: In terms of the corrosion rate for
17 mild steel, we looked at two different models. One was
18 developed by the M&O, David Stahl, and one came from
19 Lawrence Livermore, Allen Lamont. Both of these had
20 different functional forms, but both of these did lead to
21 very high corrosion rates for the assumed saturation and
22 corrosion initiation criteria.

23 [Slide.]

24 DR. MISHRA: For the corrosion of the corrosion-
25 resistant material, whether we use the deterministic model

1 or whether we use the stochastic model, it also led to the
2 same thing. The other conservative assumption was that the
3 degradation of cladding was assumed to be congruent with the
4 corrosion-resistant material.

5 So essentially what we had in terms of the
6 degradation of the waste packages, we had several thermal
7 dependencies, but these were, once again, a very preliminary
8 attempt at implementing the thermal dependencies, most of
9 which turned out to be quite conservative.

10 [Slide.]

11 DR. MISHRA: Moving on to the waste package EBS
12 release, I talked about waste package and cladding failure
13 distribution. The next assumption was that the entire waste
14 package surface was assumed to be degraded at the time of
15 the failure. The failure is conservatively defined by the
16 penetration, by the time at which the first pit penetration
17 takes place. We also assumed that the entire waste form
18 surface could be exposed and contacted by liquid water at
19 the time of the failure.

20 What this does is, once again, it just enhances
21 the failure process or accelerates the failure process and
22 the release process.

23 [Slide.]

24 DR. MISHRA: Some more assumptions that we used in
25 the TSPA-1993 implementation, if you will, relate to the

1 dissolution rates and the solubility limits for the
2 radionuclides in terms of their temperature dependencies and
3 how we calculated the diffusion coefficient to the waste
4 package and the backfill based on the average saturations
5 that we obtained from the scale model. Once again, there is
6 a disconnect here in terms of getting information from one
7 scale and assuming that it holds at another scale. So what
8 we're doing is we're neglecting the capillary differences
9 between the rock and the backfill material here.

10 So that is essentially a recalculation of what
11 assumptions and implementations of thermal dependencies we
12 had in the TSPA-1993.

13 [Slide.]

14 DR. MISHRA: Moving on to additional calculations
15 that we have done based on the comments that we received or
16 based on things that we identified we should have done, but
17 we didn't do. This is just a list. This is all in your
18 package. I'm not going to go into any of the details. I'm
19 basically going to show some results that brings in the
20 TSPA-1993 results and also some of these additional
21 calculations.

22 [Slide.]

23 DR. MISHRA: So as an alternative to the CCDFs
24 that a lot of people love to hate, here is a barograph that
25 shows the waste package failure distributions as a function

1 of the thermal load, the waste package thickness, and the
2 corrosion initiation criteria for a variety of thermal load
3 conditions here, going from the 28.5 kilowatt per acre case
4 to the 114 kilowatt per acre case. And notice that we have
5 added a new case here, the 87 kilowatt per acre case, in
6 addition to the three that were evaluated as part of TSPA-
7 1993.

8 Two waste package outer barrier thicknesses, ten
9 centimeters and 20 centimeters, and, once again, we have the
10 two corrosion initiation criteria and the saturation
11 criteria. Saturation going above residual saturation
12 implies the initiation of aqueous corrosion as opposed to
13 temperature in that when the temperature falls below the
14 boiling point of water, you start to have aqueous corrosion.

15 These opened and closed triangles and the lines
16 joining them basically delineate the duration of the waste
17 package failure, when waste package failure begins and when
18 it ends. As you can see, for the 28.5 case, it basically
19 made no difference, where it made some difference in the 57
20 through the 114 case.

21 The temperature criterion was always a better
22 performer than the saturation criterion because the
23 saturation criterion was a more conservative one.

24 As you can see here, in terms of the temperature
25 criterion, the 114 kilowatt per acre case performed almost

1 as well as the 28.5 case and the 87 kilowatt per acre case
2 and the 57 kilowatt per acre case are actually the worst
3 performers.

4 [Slide.]

5 DR. MISHRA: This table presents some expected
6 values of the releases as normalized to Table 1 of 40 CFR
7 191 at 10,000 and at 100,000 years. I don't want to go into
8 the details. The only thing that I want to point out is
9 that you can see some difference going from thermal load to
10 thermal load and from case to case in the 10,000 year time
11 period. But, essentially, if you are comparing performance
12 to a 100,000 year standard, then essentially there's no
13 difference because the waste packages that are being
14 currently designed are not expected to contribute
15 significantly if the standard is the 100,000 year duration.

16 [Slide.]

17 DR. MISHRA: So to summarize what we have learned
18 so far, basically we've learned that the waste package is
19 dependent on the model for corrosion initiation and, in
20 particular, we find that the saturation dependence criterion
21 that we used causes the early failures.

22 We have also looked at the spatial variability in
23 the overall thermo-hydrologic performance by looking at the
24 response of the center of a waste emplacement panel as
25 opposed to the edge of the panel. We do find that there are

1 some effects in terms of corrosion initiation and the rates
2 and that affects the distribution of failures. The
3 corrosion model also affects the distribution of failures
4 would not dry significantly and extend.

5 Diffusive releases from the waste package and the
6 EBS generally dominate the advective releases. And this
7 perhaps is an important conclusion, in line with what Scott
8 Sinnock was trying to point out yesterday, that no
9 significant waste package cumulative release differences
10 occur during the 100,000 years. There are some differences
11 in the 10,000 year time period, but essentially performance
12 is not a discriminator between the various thermal loading
13 options, at least based on the preliminary models that we
14 have so far.

15 [Slide.]

16 DR. MISHRA: As I pointed out in the beginning,
17 what we did was we used a panel scaling model to predict the
18 thermo-hydrologic environment in the drift and that was --
19 that led to the under-prediction of waste package surface
20 temperatures and an over-prediction of the saturation. In
21 order to improve upon that work we have done, we have
22 performed some drift scale thermo-hydrologic calculations
23 and have carried out some corresponding assessments of the
24 total system performance.

25 So what we do is that directly at the scale for

1 drift, we have a waste package emplaced in the drift, which
2 is essentially a two-dimensional model going from the ground
3 surface to a depth of 1,000 meters below the water table,
4 and it has some fine distribution in the vicinity of the
5 drift and the waste packages to account for processes that
6 might be going on there.

7 So we can directly calculate the temperature, the
8 liquid saturation, the flux and the relative humidity in the
9 vicinity of the waste package. This was essentially done
10 for the systems study group. So we looked at two different
11 thermal loads, 25 and 87 kilowatts per acre. We looked at
12 two different backfill alternatives. We either had no
13 backfill or we had a gravel backfill. We looked at two
14 different waste package emplacement configurations, a square
15 spacing and a rectangular spacing, and three corrosion
16 allowance thicknesses, the ten, 20 and 45 centimeter ones.

17 The corrosion initiation criterion that we used
18 this time around had a new switch. Corrosion was assumed to
19 initiate either when the relative humidity in the vicinity
20 of the waste packages was about 70 percent or when the
21 temperature fell below 96 degrees. So we dropped the
22 saturation criterion. The saturation criterion was used to
23 look at the release from the waste packages in that the
24 water was allowed to be mobile when the saturation exceeded
25 the residual saturation of water in the backfill.

1 So in terms of mobility, because it was believed
2 that it would be appropriate to use the saturation
3 criterion, but not in terms of corrosion initiation, we went
4 back to the temperature and introduced a new one, which is
5 relative humidity.

6 For all of these designs, we looked at the
7 sensitivity to the release from the waste package to the
8 accessible environment and also to the doses.

9 [Slide.]

10 DR. MISHRA: Some more details about what this
11 drift scale thermo-hydrologic model approach and assumptions
12 were. As I said, it's a 2-D vertical section. It goes from
13 the surface to 1,000 meters below the water table. The
14 refined mesh in the vicinity of the drift, we did this
15 calculation using two different codes, the code TOUGH-2
16 developed at Lawrence Livermore labs and the finite element
17 called FEHM developed at Los Alamos, just so we would get
18 some idea as to whether the calculations that we were
19 performing produced robust results or not.

20 We calculated temperatures, saturations and fluxes
21 directly from the model results. Humidity was done as a
22 function of temperature and capillary pressure using the
23 Kelvin relationship. We looked at sensitivity to the flux
24 going from zero to .2 millimeters per year. What we did not
25 do was we did not vary the stratigraphy, as Stahl did his

1 his calculations. We did not look at the uncertainty to
2 rock properties, even though we know that the hydrologic
3 properties at Yucca Mountain are significantly variable
4 along and across bore holes.

5 We did not look at variations of backfill
6 properties. We just assumed that the backfill to be
7 emplaced had a set of properties. Corrosion initiation, as
8 I said before, was either based on a humidity criterion or a
9 temperature criterion.

10 [Slide.]

11 DR. MISHRA: Some more details about the
12 implementation of the thermal dependencies. In addition to
13 the humidity switch, we did not change the corrosion models.

14 So this is the same model that David Stahl provided us to
15 use in TSPA-1993. It just has the corrosion rate dependent
16 on temperature and on time. We also assumed that the
17 cladding -- we took no credit for the cladding and assumed
18 that it failed when the corrosion allowance barrier -- well,
19 the corrosion -- basically, we're not taking any credit for
20 cladding.

21 We also assumed that the entire waste form surface
22 was exposed to water instantaneously, but we would evaluate
23 some sensitivity to the working criterion. Dissolution
24 rates and solubilities are the same as in THPA-1993.
25 Diffusion coefficients, we used this particular rate.

[Slide.]

1 DR. MISHRA: Here are some results of some
2 representative drift scale thermo-hydrologic calculations,
3 waste package failure distributions and cumulative releases.
4

[Slide.]

5 DR. MISHRA: I would like to show one graph to
6 indicate what is happening here. This is the case of the 87
7 kilowatt per acre case. Initially, you see a temperature
8 increase and the temperature dropping, and this is the time,
9 100 years, at which the backfill is in place. Actually, the
10 temperature increases and then it keeps coming down. So the
11 humidity drops and increases once again. That's not
12 correctly represented here. There should be one or two
13 additional points up there.
14

15 The solid squares show the temperature response as
16 a function of time. The liquid saturation and the backfill
17 is essentially constant at some near residual value, which
18 is the straight line shown here at the very bottom. The
19 stars show the relative humidity behavior. This is just to
20 show what our typical thermo-hydrologic drift scale response
21 is.

[Slide.]

22 DR. MISHRA: I will go back to my barographs and
23 here, once again, I am trying to summarize the waste package
24 failure distributions using the drift scale thermo-hydrology
25

1 calculations, showing sensitivity to thermal load, to
2 backfill, to waste package emplacement geometry and to the
3 corrosion initiation criteria for the ten centimeter outer
4 barrier case and for the .1 millimeter percolation flux
5 case. What we see here is that using the relative humidity
6 as a switch, but not using corrosion rates dependent on
7 relative humidity causes the system to fail much earlier, as
8 you can see here, particularly for the high thermal load
9 case.

10 For the low thermal load case, the relative
11 humidity corrosion initiation criterion leads to better
12 performance.

13 [Slide.]

14 DR. MISHRA: For the 20 centimeter outer barrier
15 case, we, once again, get a similar kind of behavior.
16 Notice that the waste package failures are, indeed, quite
17 spread in time if we look at the temperature criterion. But
18 for the relative humidity criterion, particularly for the
19 higher thermal load case, we get very early failures. I
20 will come back to that point in a little bit.

21 [Slide.]

22 DR. MISHRA: This is a table that tries to
23 summarize the expected values of the neptunium and
24 technetium releases as normalized to Table 1. Here you see
25 that in the 10,000 year -- these are releases from the waste

1 packages. During the 10,000-year period, there are
2 basically very small releases. During the 100,000-year
3 period, you have higher releases and depending upon the
4 saturation initiation criterion, you get more release from
5 the 87 kilowatt per acre case or from the 25 kilowatt per
6 acre case.

7 [Slide.]

8 DR. MISHRA: As I'm nearing the end of my
9 presentation, I thought I would just put up a couple of
10 CCDFs. This is a CCDF of the total normalized waste package
11 release for the 10,000-year period. Once again, there is
12 not much of a difference between the various cases. This is
13 just to show that depending upon the emplacement geometry
14 and the release initiation criteria, you might have some
15 difference in the CCDFs.

16 [Slide.]

17 DR. MISHRA: There's a mistake in the labeling
18 here. This should be the 100,000-year release. Basically,
19 you see that all of the CCDFs have been shifted to the
20 right, as you expect. Once again, there is not much of a
21 difference between the 25 kilowatt per acre case or the 87
22 kilowatt per acre case.

23 [Slide.]

24 D3R. MISHRA: To summarize the TSPA results based
25 on a drift scale thermo-hydrologic model and its

1 implementation, what we have seen is that the humidity
2 initiated corrosion can lead to earlier failures at higher
3 thermal loads. This occurs primarily because we are not
4 accounting for humidity effects on the corrosion rates. We
5 still use the corrosion model which predicts that the rate
6 of corrosion is essentially dependent on temperature and to
7 some extent on time and we just used humidity as a switch to
8 initiate the corrosion process.

9 When we have a backfill, we generally get higher
10 failure times, meaning that the failure is -- the onset of
11 failure is delayed. We had the same situation when we used
12 rectangular spacing for the waste package emplacement as
13 opposed to square spacing. As expected, the thicker outer
14 barrier gives rise to a delay in the expected failures, even
15 though we have a conservative treatment of cladding.

16 Once again, one of our key messages here is that
17 we do have differences -- we do have some differences in the
18 waste package and the accessible environment release, but
19 these are -- first of all, these are not significantly
20 different and, secondly, the significance of this difference
21 is strongly affected by the assumptions that we have in the
22 waste package in the EBS model.

23 [Slide.]

24 DR. MISHRA: So having said that, work on -- or
25 our plans for the upcoming iteration of TSPA, which is TSPA-

1 1995, is expected to be complete by the end of FY-95. We
2 want to continue using our drift scale thermo-hydrologic
3 model with alternate backfill characteristics, with
4 alternate thermal loads, look at the effect of hydrogen-80
5 uncertainty in the hydraulic properties, continue to predict
6 humidity and use humidity as a criterion for the initiation
7 of corrosion.

8 Indirect prediction of spatial variability in the
9 sense that we know there is going to be some difference
10 between the effect of -- between the responses of the
11 packages which are placed in the center of the repository as
12 opposed to those packages that are placed at the edges of
13 the repository. We have some ideas as to how we might
14 capture that difference using some scaling rules.

15 We want to use a revised model for the initiation
16 of aqueous corrosion and particularly one of the models that
17 we want to evaluate is the new version of the corrosion
18 model that's been proposed by David Stahl, which has a
19 relative humidity dependence in addition to the temperature
20 and time dependence.

21 In order to improve the representation of the
22 waste form alteration and the release from the EBS, we want
23 to use the drift scale liquid saturations as a means of
24 predicting how the waste form surface is exposed to water
25 gradually in time and, also, what percentage of the waste

packages in the EBS have access to diffusive pathways.

1
2 Skip the next couple of slides which talk about
3 issues to be addressed in TSPA-1995 because they recur in
4 this slide here where I talk about key information needs for
5 TSPA-1995.

6 [Slide.]

7 DR. MISHRA: We are looking for more information
8 in the area of unsaturated zone hydrology so we have a
9 better understanding of what is the infiltration and
10 percolation rate in the vicinity of the repository and what
11 about the variability and uncertainty.

12 Till now, all of the analyses that we have done,
13 whether at the drift scale or whether at the far field
14 scale, have basically assumed that the fracture matrix
15 system at Yucca Mountain can be treated as a equivalent
16 continuum and as a means of evaluating its robustness, we
17 want to look at the issue of fracture matrix coupling,
18 particularly as it affects the return flow of condensate
19 from high thermal load cases and also in terms of matrix
20 diffusion and the process of radionuclide transport in the
21 geosphere after the radionuclides are released from the EBS.

22 The issue of bulk rock characteristic curves in
23 the Topopah Springs 2 horizon and also in the other
24 alternatives, the uncertainties are important because they
25 do affect what temperature and saturation conditions prevail

1 in the rock units which overlie the repository horizon,
2 which overlie and underlie the repository horizon and,
3 hence, affect the thermo-hydrologic conditions in the drift.

4 In terms of the waste package engineered barrier
5 system, information needs are backfill and invert thermo-
6 hydrologic properties, the criterion for corrosion
7 initiation, and what is the uncertainty in the corrosion
8 models and parameters for the corrosion allowance, for the
9 corrosion resistance, for the cladding.

10 Effective diffusion coefficients and low liquid
11 saturations from materials which are representative of the
12 backfill, of the invert that is used within the drift, and
13 the spent fuel dissolution model for the expected thermo-
14 hydrologic conditions.

15 [Slide.]

16 DR. MISHRA: So in conclusion, we have performed
17 several sensitivity analyses to supplement the original
18 total system performance assessment for 1993. It basically
19 confirms the conclusions that we made in that for the
20 simplified assumptions that we have right now, performance
21 is not a strong discriminator between various thermal
22 loading options at long times. If you're looking at a
23 100,000-year release or if you're looking at peak doses over
24 the million year period, you might see some difference in
25 the performance over the 10,000-year period, but, once

1 again, those differences are strongly dependent on the
2 assumptions that we have with respect to waste package
3 degradation and the EBS release.

4 And the importance of these has also been pointed
5 out by the preliminary drift scale thermo-hydrologic
6 analysis that we did to improve the representation of the
7 near field thermo-hydrology in these calculations that I
8 just talked about. We are using it to provide a framework
9 for our TSPA-1995 analysis and focusing on the key
10 components of the waste isolation argument.

11 With that, let me conclude this presentation. If
12 you have any questions, I will try to answer them as much as
13 I can. Thank you.

14 DR. LANGMUIR: Thank you, Dr. Mishra. I'll start
15 it out. We have some time for questions. I'm a little
16 unhappy in the sense that my feeling is to get something
17 licensed, you have to be able to explain it in a way that is
18 at least somewhat intuitively logical or what you'd expect
19 to happen might happen. I don't see that here.

20 I was very surprised that the performances don't
21 seem to be sensitive to thermal load. That isn't
22 intuitively obvious why that would be so. I would expect
23 that -- and I didn't see refluxion, by the way. Another
24 issue that comes up here is you emphasize, and I think my
25 sense is rightly, that there's a lot of assumptions involved

1 in these models. How do those assumptions impact your
2 conclusions? How uncertain are the conclusions that result?

3 For example, I didn't hear the mention of
4 refluxion as a process that was incorporated in your
5 corrosion calculations or predictions.

6 Again, as I said before, I'm very surprised that
7 we don't see any notable differences in corrosion or
8 failure, regardless of load, because that, to me, is not
9 intuitively obvious that that would be the case. Can you
10 comment on that?

11 [Slide.]

12 DR. MISHRA: That's a tough one for me. I think
13 it is probably intuitive that when you look at performance
14 over very long time periods, if you're looking at million-
15 year doses, for example, if you're looking at 100,000-year
16 release, for example, the various corrosion initiation
17 models will not make a significant difference, because the
18 waste packages are not intended -- at least that's my
19 understanding -- are not intended to provide protection over
20 that period of time.

21 When you look at the 10,000-year performance,
22 however, and this is what I have tried to point out, you see
23 some difference. Whether it says that the high thermal load
24 is better or the low thermal load is better, I think is much
25 less important than the fact that the assumptions that go

1 into the model are still very, very, very uncertain right
2 now.

3 For example, what confidence do we have in the
4 corrosion model? What confidence do we have in predictions
5 of temperatures and saturations and humidities in the
6 vicinity of the waste packages. As Tom has pointed out,
7 we're in the process of evolving towards a much more robust
8 understanding of the thermo-hydrologic environment in the
9 presence of the drift, in the vicinity of the drift. As
10 David Stahl and other scientists at Lawrence Livermore have
11 been working, they have been trying to come up with a
12 corrosion model that takes into account all of the key
13 environmental variables in the vicinity of the drift.

14 So I think those uncertainties are embedded in
15 these analyses in a very preliminary way. Right now we
16 cannot discriminate between the performance of various
17 options, at least not in a very definitive sense. That's my
18 feeling.

19 I think in the 10,000-year time period, all of our
20 conclusions are more suggestive than definitive and I would
21 say that over longer periods of time, maybe the reverse is
22 the case.

23 DR. LANGMUIR: Thank you.

24 DR. PALCIAUSKAS: Could you put up slide number
25 20?

[Slide.]

1 DR. PALCIAUSKAS: I think this slide illustrates
2 quite well at least my confusion or uncertainty. I notice
3 that the biggest difference in this slide, and what stands
4 out clearly, is your assumptions concerning the corrosion
5 initiation criteria. In other words, that seems to be the
6 most important factor determining the outcomes of the
7 computations. Simply said, it's going to be very difficult
8 to draw a conclusion concerning performance unless we know
9 something about the corrosion rates.

10 DR. MISHRA: Right. And as I pointed out, the
11 corrosion initiation criterion we had here, and as David
12 Stahl would likely say, is very simplistic in that we use
13 humidity just as a switch and we do not have a humidity
14 dependence on the corrosion rates. It's a model which is
15 still being evolved, so to speak, within our waste package
16 group and we hope to use a model like that in the TSPA-1995
17 so that we have a better handle on how corrosion is
18 initiated and at what rate it proceeds.

19 DR. PALCIAUSKAS: So in other words, we really
20 can't draw any conclusions concerning performance until we
21 have something firmer in the way of corrosion models.

22 DR. MISHRA: In a sense, that's very true.

23 DR. STAHL: Dave Stahl, M&O, B&W Fuel Company. In
24 the last few months, we have made some corrections to the
25

1 relative humidity switch. Unfortunately, Bob Andrews has
2 not been able to input into this calculation and certainly
3 that would make dramatic differences in the early time
4 failures that are shown for the high temperature-high
5 thermal load case. So that's one thing that has to be done.

6 In addition, as he has noted, Srikanta has noted,
7 there is a great deal of conservatism in the failure of the
8 corrosion-resistant barrier and of the zircalloy cladding.
9 Hopefully, with a little more assistance here, we'll be able
10 to provide some more input into that in the next six months
11 to a year or so.

12 Also, I know that Lawrence Livermore will be doing
13 some analysis in regard to the subsystem performance, of
14 whether we meet the subsystem requirements. Certainly, as
15 indicated here, we may not using those assumptions. We need
16 to bring a little bit more reality into the analysis.

17 One thing on a negative note, however, we do not
18 have any factor in there for microbiological corrosion.
19 That is something that we'll be starting to evaluate this
20 year and certainly that could perhaps give us some early
21 failures certainly for the lower thermal loads that we
22 hadn't included.

23 DR. LANGMUIR: What about refluxing? Is this part
24 of your analysis?

25 DR. STAHL: I'm sorry.

1 DR. LANGMUIR: Refluxing. The idea that you're
2 going to have large volumes of water that are just going
3 round and round perhaps at intermediate temperatures.

4 DR. STAHL: Yes. Well, the analysis assumes that
5 you do have corrosion when you have a water film on the
6 surface. Absence of the water film, you don't have
7 corrosion. So you have to look at what the surface
8 character is, as we discussed yesterday, depending on what
9 conditions will lead to the formation of the film and
10 sustain that film.

11 DR. MISHRA: If I might address the question of
12 refluxing. The way to incorporate refluxing is to have a
13 thermo-hydrologic model that couples the near field with the
14 far field. So when you predict the temperatures and the
15 saturations and the fluxes in the vicinity of the waste
16 packages, you have implicitly taken into account the fact
17 that you might be having convective cells in the system
18 because of the emplacement of heat-generating wastes.

19 What we have here is a 2D slice that goes through
20 the repository, goes from the surface to the water table and
21 a 1,000 meters below it and we have an enhanced resolution
22 of the region around the drift.

23 So what this does is in a way, when we predict the
24 temperatures and the saturation conditions in the vicinity
25 of the waste packages within the drift, we take into account

1 the fact that the type of thermal effects that are taking
2 place in the region above the repository and below the
3 repository. There is dry-out above the repository and there
4 is also re-wetting above the repository.

5 So in a way, the issue of refluxing and what
6 fluxes might engender are already implicit in this, with one
7 caveat. This is still an equivalent engineering model that
8 still does not address the question of fracture matrix which
9 might be activated under those conditions. I think that's
10 something for which we look to Tom and perhaps to Karsten to
11 give us some more insights.

12 In a way, we are at the downstream end of
13 information such as material degradation and thermo-
14 hydrologic behavior. Because we have limited resources, we
15 sort of have to take that information as much as we can and
16 try to input it into whatever simplistic models that we
17 have.

18 [Slide.]

19 DR. MISHRA: As I showed you here in my bubble
20 diagram, in a way, what we're doing is we have a very large
21 envelope and we just take each little box and put inputs and
22 get outputs and try to sum them up and that's what results
23 in the CCDFs.

24 DR. LANGMUIR: Any more questions from the Board?

25 Pat Domenico.

1 DR. DOMENICO: Do the releases start once failure
2 is initiated and progressively increase as canister failure
3 progresses or is there some diffusion or rate control
4 limitation on the releases once they're exposed, once the
5 material is exposed?

6 DR. MISHRA: There is a diffusion mechanism. Once
7 the canister fails, then it's a question of water coming in
8 contact with the waste form and then it's either solubility,
9 limit controlled, or alteration rate controlled. So there
10 is some diffusion modeling that goes on with respect to the
11 waste form.

12 DR. DOMENICO: So the release may not increase
13 progressively with canister failure. It may not.

14 DR. MISHRA: Right. It may not.

15 DR. DOMENICO: So it's the initiation that starts
16 things.

17 DR. MISHRA: It's the initiation that is
18 important.

19 DR. DOMENICO: So the time it completes failure
20 doesn't enter too much into the actual releases.

21 DR. MISHRA: It does affect it to some extent and
22 I think it's some non-linear coupling. I don't think I can
23 answer the question very well.

24 DR. LANGMUIR: Dennis Price.

25 DR. PRICE: Is it your assumption that -- the

1 couple to thermal is nuclear radiation and irradiation, the
2 intensity of it? Is it your assumption that irradiation
3 does not cause any chemistry changes along the path to
4 release or have you looked at the effects of a long-term
5 intense irradiation to the chemistries between the source
6 and the release?

7 DR. MISHRA: No. I don't think it's part of our
8 model. It is not.

9 DR. PRICE: Is it of interest or should it be?

10 DR. MISHRA: I can't answer that question. This
11 is -- I should defer that question to Bob, but I'll take
12 note of it.

13 DR. LANGMUIR: Question from Dan Bullen. Go
14 ahead, Dave.

15 DR. STAHL: David Stahl, M&O. In regard to the
16 radiolytic effects, certainly for the corrosion allowance
17 material, the barrier is thick enough to prevent that from
18 happening. But if you do have failure of the corrosion
19 allowance barrier and then create water films, for example,
20 on the corrosion-resistant barriers, then radiolysis can
21 decrease the pH and perhaps give you earlier failures.

22 That's something we need to look at and have not
23 done yet.

24 DR. PRICE: And that is with respect to the
25 package itself. How about the geochemistry?

1 DR. STAHL: They've done a little bit of
2 examination of that issue. Ray Stout is one that's been
3 looking at that. Perhaps Bill Halsey can comment on that
4 part of it.

5 DR. HALSEY: Bill Halsey, Lawrence Livermore. To
6 answer your question, Dennis, yes, it is of interest. We're
7 interested in whether some of the surface processes can be
8 affected by radiation effects. We're looking at some of
9 those in transport processes, along with the geochemistry.

10 Conclusions on that are somewhat down the line.
11 We aren't going to have those available to put into these
12 kinds of models. The maturity of the models that are used
13 for transport in the TSPA at this time couldn't use those
14 results if we had them. The complexity is not consistent
15 with the transport models we're using currently. I think
16 that's someplace that we hope to be in the future.

17 I wonder here if I could comment on the corrosion
18 issue, also, that Don brought up. You have to step back a
19 little bit and realize that this TSPA was really the first
20 one that tried to include thermally-dependent effects. The
21 waste packages until this analysis were just given an
22 arbitrary failure distribution with real mechanistic
23 processes included.

24 What we put in in this round is just the very
25 first and simplest portions of that. Srikanta went through

1 a lot of the things that were not included, a lot of the
2 assumptions that were made. When you add all of those up in
3 some of the most extreme cases, you had a relative humidity
4 or a local saturation switch in the rock. When the local
5 saturation of the rock reaches a certain point five meters
6 out into the rock, when it reached, I believe, 7 percent
7 saturation five meters into the rock, using some of the
8 corrosion models that were used, you then had corrosion
9 rates that were conservatively estimated for samples in a
10 brine pressure cooker at above-boiling temperatures in
11 aggressive conditions.

12 This is not just conservative. This is fairly
13 well decoupled from realism. Now, if we had all of the
14 information necessary to make those connections, once again,
15 the models do not yet have the complexity to deal with all
16 of those processes. But we have to start somewhere and
17 putting in some of these temperature-dependent processes
18 lead us to the sensitivity analyses that Srikanta was
19 showing to tell us where we need better information, and
20 we're hoping to get that in the future.

21 That, once again, gets to the conclusion you made
22 that we can't really draw thermal loading conclusions from
23 these, but we can start to get thermal-dependent sensitivity
24 indicators to tell us where to go next.

25 DR. MISHRA: I would just add one thing to that.

1 I think all of what Bill said is very, very true with
2 respect to the early time period, when we're looking at
3 10,000-year standards. But if we're looking at standards --
4 and as we all know, we have no standards right now. We have
5 some standards and the key standards with respect to release
6 and perhaps with respect to dose are not yet known.

7 Should they turn out to be standards with respect
8 to a longer time period, I think some of the conclusions
9 that we have might well be true, because the current design
10 sort of expects a 10,000-year standard. All of our design
11 is based on a 10,000-standard.

12 DR. LANGMUIR: I think we have to go on. Thank
13 you very much.

14 DR. BULLEN: Can I have one quick question?

15 DR. LANGMUIR: We're over time here. If it's
16 really short.

17 DR. BULLEN: I can hold off.

18 DR. LANGMUIR: We'll have time later in the day,
19 certainly. The next presentation is status of the Thermo-
20 hydrologic Review Evaluation Team and our presenter is
21 Ardyth Simmons.

22 STATUS OF THE THERMOHYDROLOGIC REVIEW EVALUATION TEAM

23 [Slide.]

24 DR. SIMMONS: I was asked to speak about a review
25 team, an internal review team at the project that is looking

1 at our thermohydrologic models and testing program. The
2 purpose for the initiation of this review team was to
3 develop a project approach to modeling and testing
4 thermohydrologic processes.

5 At the present time, there are numerous groups,
6 many of which you've heard about in this meeting, some of
7 which you haven't heard about or have only been referred to
8 indirectly. We felt it was important to assess all of what
9 had been done to date -- there are voluminous reports that
10 have been written on these subjects -- and to take a look at
11 the models and their applications in the field and in situ
12 experiments, particularly because we are in the process of
13 planning our ESF experiments.

14 We're going to use this information to plan an
15 external peer review prior to finalizing our plans for the
16 Exploratory Studies Facility, heater tests.

17 [Slide.]

18 DR. SIMMONS: The objective of the external peer
19 review now, the one that we would be preparing for, will be
20 to evaluate the project's approach to understanding
21 hydrothermal conditions at Yucca Mountain. This includes
22 consideration of performance assessment, of the thermal
23 loading, of the test design and sufficiency, and of model
24 sufficiency.

25 [Slide.]

1 DR. SIMMONS: The scope of the external peer
2 review will be to examine the sufficiency of the laboratory
3 and field experiments to the understanding of
4 thermohydrologic processes. To look at the sufficiency of
5 the models and the modeling approaches to predicting
6 performance with respect to; coupled process modeling,
7 thermohydrologic process models, and the implications of
8 these for the thermal loading decision. And then look at
9 the sufficiency of our approaches to; understanding the
10 viability of the approach for making the thermal loading
11 decision, the compatibility of the observations from the
12 data and the models, and the appropriate range of
13 alternative conceptual models that are being used.

14 [Slide.]

15 DR. SIMMONS: So we have established what I just
16 went over as the purpose for the external review, peer
17 review. Then what this internal review team is doing is to
18 write a white paper that will describe the project's
19 approach to modeling and testing the thermohydrologic
20 issues. This white paper will be used to develop a project
21 focal point with respect to these issues that will be then
22 given to the external peer review.

23 The review team membership includes DOE, the M&O,
24 Lawrence Berkeley, Los Alamos, Lawrence Livermore, and
25 Sandia membership. We have constituents from the end users

1 of the information, of the thermohydrologic information,
2 performance assessment membership, and we'll be having
3 design input, as well.

4 The review team will disband, however, at the
5 completion of the external peer review.

6 [Slide.]

7 DR. SIMMONS: The next page in your handout gives
8 you an outline of the white paper. I'm not going to go over
9 this in detail. Generally, we will establish the background
10 and then go over our current understanding of ambient
11 conditions and what the thermohydrologic conditions will be.
12 We will compare the alternate representations used in the
13 thermohydrologic analyses and then we'll deal with the
14 existing uncertainties and our approaches to resolving them.

15 And then finally the technical issues that need to be
16 considered, that we think need to be considered by the peer
17 review.

18 [Slide.]

19 DR. SIMMONS: Right now, as I said, the review
20 team is writing this white paper that will develop the
21 project focal point. We're having monthly meetings to
22 continue to develop it. We would like to have it completed
23 by January of '95. However, we may not be able to meet our
24 goal because neither the review team effort nor the external
25 peer review are funded in '95. So we're doing this

essentially on a volunteer basis.

1 The reason why we're doing this is what I stated
2 earlier. We feel that it's really critical to have this
3 review conducted prior to the finalization of our plans for
4 testing in the exploratory studies facility, because we want
5 to make sure that that testing goes along in the best
6 possible path and design.

7 So I just wanted to let you know what was
8 happening with that. Are there any questions?

9 DR. LANGMUIR: Ardyth, I'm assuming you're
10 starting with the SCP, which has a tremendous recipe of
11 options, things that one could do. I gather you -- I
12 presume you've come a long way down from that to focus
13 yourself on activities that in the current situation are
14 perhaps quite different than what was being considered at
15 that time.

16 What are you emphasizing right now? What do you
17 think is going to come out in the white paper in terms of
18 major activities that you propose to do? I would guess you
19 have some idea right now about that.

20 DR. SIMMONS: We haven't gotten to a point yet in
21 the review team to be making recommendations for what the
22 future emphasis should be. What we're presently
23 concentrating on is synthesizing the results of the previous
24 tests and modeling exercises. Then, of course, we hope to
25

1 be able to provide information that will assist in the best
2 possible design and testing program in the ESF.

3 I would say that that testing program would
4 probably be somewhat different from what was laid out in the
5 SCP. But we're not at a mature enough stage right now to be
6 able to state what those differences would be. That is what
7 we hope to do this year.

8 DR. LANGMUIR: There's a lot of hydrologic test
9 work proposed for the ESF, as well. Are you integrating
10 what you are going to do or proposing to integrate it with
11 their tests? Certainly that's the best way to go if this
12 integration is possible.

13 DR. SIMMONS: Yes. That is definitely part of the
14 plan.

15 DR. LANGMUIR: Is your program the only one
16 looking to do this preliminary review approach to things
17 before you go into the ESF? Are any other groups
18 considering an external analysis and peer review of proposed
19 ESF work?

20 DR. SIMMONS: Not in external peer review.
21 However, there is an effort in the project to look at all of
22 the tests that would be conducted in the exploratory studies
23 facility and to try to get the best consolidation of those
24 tests and a clear understanding of what the objectives of
25 each of those would be. We're working with the test

1 planning package that someone showed in a presentation
2 earlier today. That is going to be more comprehensive than
3 what the scope of the peer review that I just described to
4 you will be.

5 However, that effort to look at all of the ESF
6 tests is going to be an internal effort.

7 DR. CORDING: What is the schedule on the external
8 peer review? When would they complete their recommendations
9 and when would you have that integrated into your program?

10 DR. SIMMONS: Our goal is to have that totally
11 finished by the end of this fiscal year. That would include
12 not only the recommendations made by the external peer
13 review, but also our responses to those recommendations and
14 how we would implement them in our testing and modeling
15 program.

16 But some of the schedule is dependent on whether
17 we are able to pick up supplementary funding this year to
18 complete that work. John, really a peer review takes a
19 minimum of six to nine months to do, based on the ones that
20 we've conducted in the past.

21 DR. LANGMUIR: Dennis Price.

22 DR. PRICE: Could you explain the term "external"
23 and you might face north in your answer. I'm just kidding.

24 Because I think Dr. North, if he were still on the Board,
25 would be asking if any of the members of the review team

1 have less than some direct connection with DOE.

2 DR. SIMMONS: Yes. I'm actually glad that you
3 asked that question because I didn't bring that out in my
4 presentation. But we have a formal peer review procedure
5 that we use in the project for conducting external peer
6 reviews. The intent of that is to convene a group that is
7 totally external to the project, that has not been involved
8 in any of the previous work that's done or in any consulting
9 on the project in the past or present.

10 The Department of Energy selects who the Chairman
11 for that peer review would be based on their credentials in
12 the scientific or engineering community. But then the
13 Chairman of that review selects the membership for the
14 review team. We have a documented process by which we
15 include all of the background information on these
16 individuals and we record all of the interactions that they
17 have with our participants in formalized meetings and
18 basically a large record is made of all the interactions.

19 At the end of their review session, generally, a
20 series of several meetings, they produce a set of
21 recommendations for us, which we then have to respond to and
22 tell them how we're going to implement those into the
23 program.

24 This has been done a couple of times in the past.
25 I think the most recent one an unsaturated hydrology peer

review that Claudia Newberry was responsible for.

1
2 DR. PRICE: There, nevertheless, is a direct chain
3 link with the DOE among the membership. In other words,
4 it's not an independent peer review. The term "external"
5 and independent --

6 DR. LANGMUIR: Ardyth is speaking of a panel that
7 Allan Freeze chaired on the unsaturated zone hydrology,
8 which was, from what I could see, quite independent. There
9 were no connects that I was aware at all in that group.

10 DR. SIMMONS: Yes. That is the purpose. If I
11 somehow confused it, I didn't mean to.

12 DR. PRICE: No. You probably didn't confuse it.
13 I probably listened wrong.

14 DR. SIMMONS: No. They are totally independent
15 from the project.

16 DR. LANGMUIR: Pat Domenico.

17 DR. DOMENICO: Ardyth, is the purpose of the white
18 paper to offer guidance to the external review or to just
19 bring them up to speed?

20 DR. SIMMONS: It's to save them some work,
21 actually. We've done a bibliographic search and there are
22 hundreds of papers that have been written on all the topics
23 that we've been talking about. So what this white paper
24 will do is synthesize that information and we'll be giving
25 it to the peer review to kind of give them a head start.

1 Now, if they choose to read all of those, that's
2 up to them. But we felt that it was important to have a
3 project summary and focus of all the work that had been
4 done. That's not to say that there would be a consensus on
5 everything, but just a bringing together of all the work
6 that had been done.

7 DR. DOMENICO: When you start to gather your team,
8 who has no experience with this project, where would you
9 suggest you start? That's a joke. You don't have to answer
10 it.

11 DR. SIMMONS: I know what you're saying, but,
12 actually, we've got a list of a fair number of people from
13 the hydrologic and testing community.

14 DR. LANGMUIR: Thank you, Ardyth. We have a few
15 minutes before the scheduled break. I had to cut off Dan
16 Bullin, who was going to ask the previous speaker a
17 question, if Dan is still around. We'll wait till later.
18 Randy Bassett, since there's some time before the hour here.

19 DR. BASSETT: I'd like to ask a question of the
20 previous speaker, as well. I guess I would say I would
21 encourage you as fast as possible to set the equivalent
22 continuum model aside and begin to look at the idea of more
23 focused flow. I think the questions that you have on one of
24 your last slides, number 23 or 24, I think, where you said
25 you wanted to look at fracture maintenance interaction.

1 I think we're there. I think we need to know that
2 soon. I think we need to model that process as soon as
3 possible. I think it has impact on a wide variety of
4 issues. Corrosion rates also fit into that whole scenario.

5 For example, we see at our particular field site fracture
6 flow as being a very significant method of liquid transport,
7 the Apache Leap site there in Arizona, where we have tunnels
8 that are penetrating fracture unsaturated tuff that are
9 similar to Yucca Mountain.

10 The question is how do you simulate the re-entry
11 of water back into this dry zone. Is it focused? How does
12 it focus? How does the temperature change when these zones,
13 of course, wet and drain? Then I think this leads into the
14 corrosion issue. As water re-enters into the drift, can you
15 maintain liquid water and, in fact, liquid water that has
16 significant mass transfer from liquid water to vaporization
17 to condensation on canisters or facilities, corrosion,
18 dripping and movement of mass from the surface down to the
19 bottom. And in that whole process, do brines, in fact,
20 actually form?

21 Just a simple analogy. In the tuffs that we see
22 in the west, we see concentration factors of 50 to 75 for
23 chloride from rain water down to the water that we see in
24 the tuff itself. This is in ambient conditions. So you
25 begin with chloride values of half-a-milligram per liter.

1 You have very significant chloride values just in the
2 unsaturated zone.

3 So I wouldn't rule out corrosion that's driven by
4 relatively high concentrations of brines. It's certainly
5 possible, especially if the pond evaporates, refluxes. I'm
6 not saying that your analysis to date is inadequate, but I'm
7 saying I really wish there could be a shift to look at this
8 other process ASAP.

9 DR. MISHRA: Could I have some time to respond to
10 that?

11 DR. LANGMUIR: In fairness, yes, certainly, before
12 the next question.

13 DR. FARRELL: J.J. Farrell, M&O. My question is
14 why should we take our eye off the ball of getting a
15 reasonable equivalent continuum model in drift and mountain
16 scale response before we get into the, let's say, endless
17 search for the ideal crack?

18 DR. MISHRA: I think I'll try not to answer the
19 philosophical question. Going back to Randy Bassett's
20 concern with respect to the equivalent engineering model, I
21 think it's well taken, as I pointed out in my presentation.

22 The equivalent continuum model is perhaps the simplest
23 abstraction that one can use to represent flow and transport
24 in a fracture environment.

25 Now, the reason, to some extent, why performance

1 assessment is using an equivalent engineering model is
2 because everybody else is using an equivalent continuum
3 model. The reference hydrologic model off of Yucca Mountain
4 being developed by LBL and USGS is an equivalent continuum
5 model. Much of the hydrothermal analysis that has been done
6 since 1986 or even prior to that have been based on
7 equivalent continuum model assumptions.

8 It is not the charter of performance assessment to
9 provide an adequate representation of the fracture matrix
10 system. We just take whatever is available and use that as
11 a basis, so that there is a consistent link. But what we
12 are trying to do, within the limitations of our analysis, is
13 to see what are the limits of the applicability of these
14 models even with the simple one-dimensional or two-
15 dimensional representations that we have.

16 And if, for example, the hydrologic modeling off
17 the ambient state at Yucca Mountain comes up with some non-
18 equilibrium flow representation, then we would obviously be
19 using it. So I think the point is very well taken, but I
20 would submit that performance assessment is looking for
21 other groups within the project to provide us that lead and
22 that understanding.

23 I'm not saying that we will not use it. We will
24 certainly use it when we have it.

25 DR. LANGMUIR: Why couldn't you have used the

1 WEEPS model representations already provided in TSPA-93 by
2 Sandia on its performance assessment program?

3 DR. MISHRA: In a way, the WEEPS model is not a
4 conservative representation of a fracture matrix system. It
5 just assumes that you are driving all the flow into the
6 fractures. In a way, it's a double-porosity type of a
7 representation which says that there is no matrix imbibition
8 or there is no matrix contribution to the flow. And when
9 you have WEEPS, the problem is that only a finite number of
10 these WEEPS will intersect the waste packages.

11 So in a way, the performance of the WEEPS turns
12 out to be better than the performance of the equivalent
13 continuum model. In either case, there is no -- to my
14 knowledge, there has been no validation of the WEEPS model
15 based on the hydrologic data from the site.

16 DR. LANGMUIR: We've succeeded in using up all the
17 time to the break and here's Dan standing here and hasn't
18 asked his question yet. Let's let him ask his question.

19 DR. BULLEN: I'm sorry. I snuck out into the hall
20 to ask the question clandestinely. But in your -- I know
21 this is not a performance assessment workshop, but I do have
22 a couple of questions about the results that you've
23 presented for neptunium and technetium.

24 The first question is does your neptunium model of
25 PA -- specifically, your figure of 22 -- include daughter

in-growth from americium and plutonium-241?

1 DR. MISHRA: I take the Fifth on that, because Bob
2 should be here to answer that question.

3 DR. BULLEN: So the answer is yes, from the
4 audience.

5 DR. MISHRA: Okay. Thank you.

6 DR. BULLEN: That's good. Then the next question
7 that I have is actually with respect to do you ever flood
8 the repository. Is the repository under water in your
9 model?

10 DR. MISHRA: No.

11 DR. BULLEN: Then by what transfer mechanism do
12 you get the waste from the package to the wall for no
13 backfill environment? I look at the results and I see
14 backfill and I can understand the transport pathway and I
15 understand that we can fail containers. But after we fail
16 the containers, what mechanism do you get that waste out of
17 the container, to the floor, to the wall? How do you get it
18 out?

19 DR. LANGMUIR: Magic.

20 DR. MISHRA: Yes.

21 DR. BULLEN: It just raises some significant
22 questions when you talk about the cumulative release from
23 the packages on your Figure 22.

24 DR. MISHRA: I think that's a very valid question.
25

1 When I say no backfill, I don't really mean no backfill.
2 There is always a backfill invert on which the waste package
3 is resting, which provides at least a diffusive pathway for
4 release from the waste package into the edge of the drift.

5 DR. BULLEN: This is a surface diffusive pathway.

6 DR. MISHRA: Yes.

7 DR. BULLEN: But if you do surface diffusion
8 calculations just along a surface and you're not assuming
9 flow, do you know how long it takes that radionuclide from
10 the waste package to get out of the clad, out of the
11 package, along the package surface and back to the rock?
12 Have you ever done that number?

13 DR. MISHRA: Not along the package. We assume
14 that when the package fails, it just -- all of its surface
15 is directly in contact with the invert.

16 DR. BULLEN: Okay. I think that's a little over-
17 conservative.

18 DR. LANGMUIR: I think we have to take our break
19 and try and stay somewhat on schedule. Let's reconvene
20 after the break at 10:40.

21 [Recess.]

22 DR. LANGMUIR: Please take your seats. Our next
23 speaker is Bill Halsey of Lawrence Livermore. His
24 presentation is on underground heater tests. I gather it's
25 a team effort with John Pott, and they'll introduce each

1 other as it proceeds.

2 IN SITU TESTING REQUIREMENTS

3 UNDERGROUND HEATER TESTS

4 [Slide.]

5 DR. HALSEY: I'm going to be talking about
6 underground heater tests primarily for the hydrothermal and
7 then the thermal geochemical and just the mechanical
8 portions of that that tie into the hydrothermal. Then John
9 Pott from Sandia is going to talk about the primarily
10 thermal/mechanical, with a coupling to the others.

11 This is not my area of expertise. I'm filling in
12 for Dale Wilder, who had to leave last night and knew that
13 he wasn't going to be able to be here. So if I don't have
14 all of the answers, don't tell anybody.

15 [Slide.]

16 DR. HALSEY: These are the people that actually
17 are doing the work at Livermore. Dale Wilder is a Technical
18 Area Leader. He spoke yesterday about many of the processes
19 that we're interested in. Wunan Lin is the Task Leader for
20 the ESF testing. Then we have the geomechanics, hydrology,
21 geochemistry and the manmade materials tasks that are all
22 involved.

23 [Slide.]

24 DR. HALSEY: Just briefly, this is a summary of
25 some of the in situ coupled process tests, the program for

1 these that Ardyth discussed yesterday. Primarily, I'm going
2 to be talking about the bottom two here. That tells you
3 where we are in the program.

4 [Slide.]

5 DR. HALSEY: This, from Mike Voegele's
6 presentation yesterday, shows the long plan of information,
7 what level we expect to have at different points. I was
8 just going to point out the areal power density we want to
9 have bounded by 2001, decided by 2008. We have to have
10 thermal information to go to the source term bounding here
11 in the EBS thermal, going from a concept at the site
12 suitability to a bounded description in 2001.

13 That's going to lead us to some early aggressive
14 thermal tests to get information in that timeframe and then
15 some longer tests to resolve some of these issues further on
16 out. So it applies to the improvements in knowledge here
17 and also in the subsystem analyses up here under the natural
18 barrier and some of the material interactions issues for the
19 repository design.

20 [Slide.]

21 DR. HALSEY: This is a summary of what I'm going
22 to -- of how we got where we are at the moment. The program
23 approach begins with the assumption that we will defer as
24 much of the testing as is reasonable to the post-license
25 application timeframe. Then you look at each of the major

1 milestones of the previous chart and try and determine what
2 are the necessary pieces of information to get past that
3 point.

4 At 2001, we're requesting the NRC to allow us to
5 begin construction of an underground facility and that
6 facility will be consistent with one or more thermal loading
7 designs, construction methods, operational concepts, and
8 performance strategies. There are a couple of things that
9 we need to show about the thermal response at that point.
10 One, that it's safe to construct it, and that's the
11 thermal/mechanical that will follow, but we also must show
12 reason to believe that the thermal response is consistent
13 with the post-closure performance strategy.

14 That's where the bounded hydrothermal models of
15 the previous chart come from. We don't have to have all the
16 final answers, but we need to show reason to believe that
17 the hydrothermal response and the coupled processes will be
18 consistent with the performance strategy. It's the early
19 thermal testing that provides that technical basis.

20 [Slide.]

21 DR. HALSEY: Dale Wilder yesterday went through
22 the discussion of the hypothesis testing, which shows both
23 low and high thermal loads, what are some of the important
24 hypotheses. I'm not going to go through those again. He
25 discussed them to some extent.

[Slide.]

1 DR. HALSEY: However, I'm going to go back to this
2 and that's where the information comes in from the test
3 program. We're talking about these two columns, the early
4 in situ and the main in situ tests. You can see that both
5 for the lower and the higher thermal loading regimes, we're
6 looking for a substantial step forward from the large block
7 test to the early in situ in the level of knowledge. This
8 is the timeframe where we get information up to this point
9 for the site suitability and then this is what we're trying
10 to get in terms of improvements in knowledge for the license
11 application in 2001.

12 Then we've got another seven years or so to
13 upgrade to these more complete levels of information.

[Slide.]

15 DR. HALSEY: This is another tie to Dale's
16 presentation where he showed the whole process of knowledge
17 flow from trying to conceptualize real world processes
18 through experiments, the field testing, developing of the
19 mechanistic models, applying these. Dale has major reports,
20 the near field report and the altered zone reports, and then
21 he just touched upon the rest of this. I'm going to be
22 talking about some of these tests and then how they flow on
23 through the system.

24 They have to be abstracted into the subsystem
25

1 performance. There are many subsystems at the repository.
2 Some of those have specific requirements and then those all
3 get rolled together and abstracted into the total system
4 performance, which we heard about earlier this morning.

5 [Slide.]

6 DR. HALSEY: To begin with, to gain the type of
7 information on coupled thermal/mechanical, geochemical and
8 hydrologic processes and how they affect the performance of
9 the repository, if you didn't have a time constraint, how
10 would you develop the tests. This is an example.

11 First, you would go out and do a prototype where
12 you'd probably want to heat for a while, cool down, do some
13 analysis, and then you would take the results of that to
14 plan a more detailed and thorough test, set that up.

15 You'd probably have at least five-year heating
16 duration. You'd have to let it cool for quite a while
17 because you're putting in a lot of heat. And then examine
18 -- look at the results. The problem is if you add this all
19 up, I think it's around 17 years. It's a good way to do it.

20 [Slide.]

21 DR. HALSEY: By my calculation, we're right over
22 here at this end of the chart. Where we need data inputs
23 are here and here. We don't have 17 years. So we have to
24 come up with a different approach. A different approach was
25 what Dale was describing as a series of accelerated tests in

1 parallel. You start setting up for the longer duration
2 tests and you scale these and locate them on the calendar so
3 that they can, indeed, feed information through the
4 processes that are necessary into the major milestones.

5 So you need information coming out of these to
6 support the parallel development of the subsystem models and
7 mechanistic models and the analyses that will support the
8 licensing arguments.

9 [Slide.]

10 DR. HALSEY: So then you face a challenge.
11 Because of the time limitations, the heater tests have to be
12 accelerated. The question is how much can you accelerate
13 without distorting the coupling between processes and
14 changing the phenomenon. If you change the fundamental
15 mechanisms, then you have trouble using your data to
16 represent reality.

17 [Slide.]

18 DR. HALSEY: What are some of the criteria that
19 you end up looking at? Well, a short list is things like,
20 and not in a particular priority; the velocity of the dry-
21 out front, the spatial extent and duration of condensate
22 generation, what are the peak rock temperatures that you're
23 going to reach, what is the time rate of change of the
24 temperature at different locations within the rock.

25 And attached to this, you have the thermal

1 gradients that are generated. And how much rock are you
2 drying out, how much water are you mobilizing, et cetera.

3 [Slide.]

4 DR. HALSEY: Your design for the test ends up
5 being a compromise between the realities of the schedule and
6 how much can you accelerate some of these processes. I'll
7 go through, I think, in the order that they're in your
8 package, not necessarily the order that I was thinking about
9 them. I put it together wrong.

10 I'd like to just comment on the evolution of test
11 plans. People had said yesterday all of this is currently
12 evolving. That's true. If we go back about five years, we
13 had done some fairly thorough testing for the EBS -- or test
14 planning for the EBS field tests and we ended up with a
15 large-scale, long-term heater test using up to 11 parallel
16 drifts, with access above and below. So it's a 3D
17 arrangement of drifts for heaters and instrumentation,
18 running at least seven to ten years.

19 One of the comments yesterday on the list of tests
20 that Ardyth showed was there seemed to be a lot of
21 mechanical tests and things like that, but not that many
22 that apply to the coupled processes in the EBS. That's
23 because the tests for the coupled processes in the EBS is a
24 big one. Probably in scale and cost, approaches everything
25 else on that list, physical scale and time scale. I'll show

just a quick graph of it later.

1 Why is it so big? Because we are looking for
2 processes that occur over fairly large spatial scales. Why
3 is it so long? Because looking at things over large spatial
4 scales requires a long time.

5 A few years ago, we had schedule pressures which
6 resulted in splitting off an accelerated test to run about
7 three years in parallel with the larger and longer test. We
8 reexamined this in the program approach and said what do we
9 need when and, indeed, the long test we believe can be
10 deferred. The results of that probably aren't needed until
11 we have to finalize the thermal loading and ask for a
12 license to operate and emplace waste. But for the reasons
13 that I discussed earlier, we do need some testing. And
14 without having time to do test planning, the question was
15 what do you need.

16 Based on conversations with a few of the people,
17 the answer was it looks like we need a two-year heater
18 duration aimed at a 200 Centigrade rock temperature peak.
19 We've been looking to see if that's adequate since then. I
20 believe that we're going to have a call from the Test
21 Coordination Office later to see can we, indeed, get this
22 kind of time scale test in and get some results prior to the
23 licensing. At the moment, the answer is yes.

24 I'd also like to say that in looking at some of
25

1 these processes, at the moment, there is current interest,
2 but not yet detailed plans for additional small tests;
3 single drifts, bore holes, that can be fielded in multiple
4 locations to assess some of the heterogeneity in the
5 different rocks and the hydrothermal response of the
6 different rocks.

7 There are some indications that at the lower
8 thermal loading regime, some of the processes may be more
9 sensitive to the rock heterogeneities. So this may be of
10 increased importance with the current philosophy of aiming
11 first at the lower thermal loading regime. Those tests we
12 don't have detailed plans for, although there are people
13 here who can discuss it, if the Board wishes.

14 [Slide.]

15 DR. HALSEY: As I said, the test is a big one.
16 Here is a sketch of the 11-drift test. This is about two
17 acres or a little bit bigger. It runs three panels to look
18 at different processes and different scales. Above and
19 below, there are access drifts for instrumentation. So you
20 can examine processes above and below.

21 I need to point out that in a test like this where
22 you're looking for things like buoyant gas processes,
23 buoyant gas convection processes, you really want to seal
24 all of these so that you don't have gas flowing around in
25 this and develop a lot of convection cells. So it's not an

1 easy place to get around and you need to seal and close all
2 of this off. It's not a good place to do a lot of other
3 tests because you don't want to perturb this for a time
4 period of like five years or more.

5 I'm not the right person to talk to the details of
6 a test like that.

7 [Slide.]

8 DR. HALSEY: The smaller test looks like a portion
9 of that and here is a three-drift representation. This is
10 half-an-acre, little less than a half-an-acre, I believe,
11 what Tom tells me, with heaters placed into drifts. Again,
12 you're going to want these sealed off. The question of how
13 much can you accelerate this test leads into a parametric
14 study of what size heaters are you going to use, how fast
15 are you going to heat versus how much time are you going to
16 take, and what conditions are you going to reach, how far
17 apart are you going to place these versus what spatial scale
18 are you going to examine processes over.

19 If you put them too close together, you don't see
20 a lot of the larger spatial scale processes. One of the
21 reasons that this is as large as it is, I'm told, is to look
22 at the possibility of ponding condensate up above. If
23 you're too small, you may not see that kind of process in
24 the time scales that we're talking about. If you make it
25 too big, your time scales get too large.

[Slide.]

1 DR. HALSEY: Just a couple of examples. If you're
2 trying to avoid heating the rock above 200 Centigrade and
3 you put in, on that layout, 6.3 kilowatt heaters, you then
4 start calculating temperatures of the drift walls and the
5 midpoint of the pillar. And you see that the midpoint of
6 the pillar comes up in about a year to the boiling point and
7 sits and what you want to have is coalescence of the boiling
8 between the pillars so that you are building a dry-out
9 front, which has some spatial variability.

10 You may get condensation and then you can see
11 where you reach the 200 degree limit on some of these.
12 Right here, it looks like you can heat for about three-and-
13 a-half years. But what information can you gain in shorter
14 times, such as the two years that we think we've aiming for
15 in the accelerated test.

16 [Slide.]

17 DR. HALSEY: For that particular layout, where do
18 you get information? The sampling regime. If this is the
19 center of that three-drift test, so then you have a rock
20 pillar, you have another drift with some more heaters in it.
21 Here is the temperature profile as a function of time and
22 then it's a zone out here in the rock that we're interested
23 for many of the coupled processes.

24 Yes, we're over-driving the walls. We have high
25

1 heating rates. We have high temperatures. But out here we
2 have conditions which are reasonably similar in kinetic
3 rates and in properties to the repository at substantially
4 extended times. I will show that in a minute.

5 You have very high liquid saturation levels. You
6 may get ponding of water or liquid saturation. You have an
7 extended time and distance. You have a number of meters
8 over a period of a number of years, where you may have the
9 possibility of water refluxing, water migration. So you can
10 look at some of the geochemical processes.

11 So after your test, you're going to have to go a
12 number of meters into the rock and then look at what's
13 happened in there. This is also where you want to put a lot
14 of your instrumentation to look at things.

15 [Slide.]

16 DR. HALSEY: As an example of the acceleration
17 problem, the rate of advance of the dry-out front for a test
18 like that, here at 6.3 kilowatt. At the rock surface, what
19 is the rate of advance of the -- near in, what is the rate
20 of the advance of the dry-out front. It's pretty fast.
21 You're going many meters per year.

22 For the accelerated test, you're pushing it pretty
23 hard. For the longer-term test, where you have four to
24 seven years, it's not as accelerated, but it's still many
25 times the heating rate for the repository.

1 But I'd like to point out that further out into --
2 one of the reasons this is so accelerated is these drifts
3 are smaller than the repository emplacement drifts. So
4 you've got a smaller drift. You're coupling the heat into
5 the rock and you're getting a very high gradient and you're
6 driving it hard. That portion of the rock is going to see
7 substantially different kinetic conditions than the
8 repository. But if you go out into the rock a number of
9 meters, five to ten meters, then these rates are more like a
10 few times that of a typical repository and may be much more
11 representative.

12 So these are the kinds of things that you have to
13 balance and trade off when you're trying to design these
14 tests.

15 [Slide.]

16 DR. HALSEY: Here is one of Tom's calculations
17 showing what that test looks like at one year and two years,
18 where the red shows the boiling zone and you are, indeed,
19 creating a -- coalescing the boiling zones and you may get
20 some ponding of water up here. You start to get some
21 asymmetry. You can start generating buoyant gas processes,
22 if they're there, measure a lot of different things.

23 [Slide.]

24 DR. HALSEY: This is, again, one of his
25 calculations. Dale Wilder yesterday showed some of the

1 difference between a conduction-dominated thermal transfer
2 and a convection-dominated thermal transfer in the
3 repository. They look very similar to this. If you start
4 to see this difference, this is now at different bulk
5 permeabilities, you start to see this asymmetry and this
6 flattening of the temperature curve.

7 You have the conduction-dominated process here,
8 the convection-dominated process here, and you can start to
9 measure that. The chart that Dale showed yesterday looked
10 very similar to this, but it was at 100 years. This is what
11 the accelerated test looked like at two years and four
12 years. You can start to measure this. And this is
13 something that in the repository takes 50 to 100 years to
14 observe, the examples of what you get a number of meters
15 into the rock in one of these heavily-driven tests.

16 Now I am just going to touch briefly on where you
17 use this information. As I said before the break, we don't
18 have the models to use all of this data yet. We're still
19 developing the mechanistic models to understand all of
20 these. We heard the discussion for the hydrology, should we
21 be using equivalent continuum or fracture models or do we
22 need to be using combinations of those, where it's
23 appropriate, and those are evolving.

24 We have subsystem models. We have total system
25 performance models. And as I said, right at the moment,

1 they can't handle those complexities either. They are
2 evolving. And each step is an improvement, but, please,
3 just because there's been an improvement, don't think that
4 we've gotten to the final answers yet.

5 [Slide.]

6 DR. HALSEY: This is my little portion of the
7 total system pyramid, the PA pyramid that I think many of
8 you have seen it many too many times. This is just the EBS
9 and the near field portion of it and then the pyramid goes
10 on up to the total system. There are many other parts of
11 this pyramid, unsaturated zone, processes of transport, the
12 saturated zone. But this is our little portion of it. And
13 this is where we had geomechanics, geohydrology,
14 geochemistry in the near field environment.

15 We have the waste forms, the containers and the
16 other materials that we're putting in there, all the
17 cements, the organics, things like that. And we have to put
18 those all together. These are a couple of processes that
19 Ardyth talked about yesterday. We need to understand how
20 those get put together.

21 We get some test data, we start putting those
22 together, then we have to combine these processes, abstract
23 them so that they're simple enough to actually use. If you
24 just start hooking detailed mechanistic models together, you
25 rapidly get to something that you can't use. It won't run

1 on a computer and it's too big to write down. And turn them
2 into an EBS near field subsystem model.

3 This can provide a source term for the TSPA and,
4 also, it can be used for; test analysis, system design, and
5 also for compliance with the subsystem performance
6 requirements, which, as Dave mentioned, we're going to try
7 and do for the first time in this program later this year.

8 [Slide.]

9 DR. HALSEY: That subsystem model that we use at
10 Livermore, a number of them are on the program. Ours is the
11 Yucca Mountain integrating model. You can see this is a
12 bubble diagram similar to what Srikanta showed. You have
13 all these different parts. This is just our portion of it
14 and it ends up with a release rate. And you can see we have
15 places in here for the near field chemistry and the
16 hydrology, the flow descriptions. And this is temperature-
17 dependent, all driven by the thermal load.

18 We worry about the container failures, the flow of
19 water from the rock to the container, from the container out
20 into the near field environment.

21 I'd like to just point out that in TSPA-93, we
22 used some portion of those that have a little star in them.
23 You'll notice that we don't have a whole lot in a couple of
24 these.

25 [Slide.]

1 DR. HALSEY: Getting to the point and reiterating
2 the point that I made before the break, recent total system
3 analysis for TSPA-93 was a substantial improvement for the
4 program in terms of thermal effects.

5 We went from the previous analysis, which had one
6 waste package, one thermal loading implied, but no explicit
7 thermal processes; a container with an arbitrary failure
8 history that was just written and there it is, and
9 everything was assumed isothermal after 1,000 years, the
10 waste form and the near field were assumed isothermal, to a
11 lot of improvements. We started putting in some mechanistic
12 corrosion processes. We started to put in temperature
13 dependencies for the oxidation, the aqueous corrosion; some
14 temperature dependence into the waste form performance. We
15 started to put in some hydrothermal modeling, as Srikanta
16 has said. We were using the results of equivalent continuum
17 models in the repository scale and -- in the mountain scale,
18 repository scale, and drift scale to try and look at what
19 water fluxes might be.

20 There's a few things we didn't do and I will get
21 to those in a minute. We put some temperature dependence
22 into the near field. We tried to look at some of the dry-
23 out effects and reflux effects. So when we got temperature-
24 dependent flow, there were some things we couldn't do. We
25 couldn't turn those into temperature flow-dependent water

1 contact on the waste package. So the corrosion models had
2 very simple switches. They're either on or off.

3 When they're on, it's as if you were sitting under
4 water. They're aqueous processes. When they're off,
5 they're not occurring. That's not realistic. There's a
6 transition through these. We need to be able to couple
7 those together and get a continuum transition between non-
8 aqueous to aqueous processes.

9 A few things that we -- I put this up primarily --
10 I wanted to show that we had made improvements, but then in
11 terms of the interests of this meeting, a lot of things were
12 not included. We did not have hydrothermally driven water
13 contact, as I just said. We didn't have any of the near
14 field geochemistry detail. We did not have extended dry-out
15 effects. We did go to a higher thermal loading, but the
16 resaturation was assumed to occur as the boiling front
17 returned.

18 So it immediately re-wetted after the temperature
19 field dropped below boiling. So this is not an extended dry
20 114 kilowatt per acre. It's one where you have rapid
21 fracture flow immediately following the boiling isotherm.
22 No manmade materials. When you look at the design for these
23 drifts, you've got all the cement, grout, all these steel
24 rails, all this material added, backfill, organics. We
25 didn't have anything -- after the waste packages failed, we

1 didn't have anything between the waste form and the rock.
2 That's why you have the question just before the break --
3 how does water get from the -- or radionuclides get from the
4 waste form out into the rock when you don't have a flooded
5 repository.

6 We ignored everything in between. Again, I will
7 repeat what I said before. The results of these analyses
8 are wrong, probably, but we don't really know. We don't
9 believe the numbers that come out so much as the
10 dependencies. You can go back and do the sensitivity
11 studies that the previous speakers were showing and start to
12 see what is important, where do these things feed in. At
13 the same time, we're starting to build these models.

14 If we had all the data and we had mechanistic
15 models, we couldn't incorporate them yet. If we had the
16 data, but not the -- we don't have the mechanistic models.
17 All three have to be developed in parallel, the system
18 models, the data, and the mechanistic understanding. I
19 think we're in the process of doing that.

20 [Slide.]

21 DR. HALSEY: I'll summarize and then get out of
22 the way here. The in situ EBS and near field test planning
23 is evolving with the program approach. We believe that we
24 can get some accelerated tests that will provide the basis
25 for the thermal strategies in the license application for

1 construction and that there is time to do the longer-term
2 tests for understanding the thermal processes more
3 completely, to establish a thermal loading and a performance
4 strategy for the operational licensing.

5 The test plans are being evolved on the basis of
6 hypothesis testing, looking at the entire regime of thermal
7 loading, from the lower to the higher end. And these tests
8 will provide the basis for the coupled process models which
9 will then go into the performance model. We need to
10 describe both the near field natural system and we need to
11 include the materials that are used in the EBS, and these
12 are then coupled to model development and application that
13 go into design decisions and analyses and eventually into
14 the licensing documentation.

15 That's all I've got.

16 DR. LANGMUIR: Thank you, Bill. I think maybe
17 it's most efficient to go on to John Pott and ask for
18 questions for both talks at the end of this, since we've
19 taken 30 minutes already.

20 [Slide.]

21 DR. POTT: I'd like to continue talking about
22 thermal tests, thermal underground tests, and whereas what
23 Bill talked about had as its emphasis hydrology, these tests
24 emphasize more the mechanical effects, but both of them look
25 at coupled thermal/mechanical and hydrological processes.

1 With the program approach, we needed to re-look at
2 the suite of tests that were defined in the SCP and see
3 which of these tests we could defer and which tests needed
4 to be done in the near term in order to meet the information
5 needs that were coming up, such a site suitability and the
6 initial license application.

7 What I'm going to concentrate on in this talk are
8 the initial tests, the ones that really will address license
9 application. These tests have also been evolving over time
10 for a number of other reasons, such as the changes in the
11 ESF, going from two shafts to ramps, going from drill and
12 blast construction to TBM, and changes in going from a --
13 thinking about waste emplacement in bore holes to waste
14 emplacement in large MPCs in drifts.

15 [Slide.]

16 DR. POTT: As an overview of what I'd like to talk
17 about, the first thing is the objectives of what we have
18 done. Second, I'm going to talk about the requirements and
19 the information needs that are driving our current test
20 program. I'm going then to talk about the proposed revised
21 test program, sort of where we stand today, and then present
22 some conclusions.

23 [Slide.]

24 DR. POTT: Our objective was to develop a revised
25 test program. First of all, we wanted to really address the

1 information that would be needed to collect, when it was
2 needed by, and at a sufficient level of confidence. We
3 needed to do this in a timeframe that would provide the
4 information when it was needed. Thirdly, so the objective
5 of this talk and what we've done so far, we've really just
6 focused in on the pre-closure issues. We still have some
7 needs to do some long-term tests that, however, can be
8 deferred, that will address post-closure issues.

9 [Slide.]

10 DR. POTT: I will first start off talking about
11 thermal load decision tree. What a thermal loading decision
12 tree is is sort of a systematic way to try to reach -- to
13 help us reach a decision on thermal loading. What it is is
14 a series of questions that we step through and we try to
15 raise all the questions that need to be answered in order to
16 make a thermal loading decision.

17 Well, in order to answer these questions, we come
18 up with what we've called conditionals. These conditionals
19 are calls for additional information that we need in order
20 to answer the question. This thermal loading decision tree
21 then tells us what information we need and it also sort of
22 gives us the manner of in what order should we collect it.

23 Once we've collected information that can answer
24 this question, then we know downstream what additional
25 information we need to collect. This then is one of the

1 drivers of the test because it -- of our test. It raises
2 the information needs that we will have to answer in our
3 thermal test.

4 This excerpt, for example, of the decision tree
5 tells us in order to answer the question about stability of
6 drift emplacement, which obviously has some mechanical
7 emphasis, we need additional confidence in our
8 thermal/mechanical models. Also, we need to understand --
9 to develop our models that join the rock. Behavior. We
10 need to predict the thermal -- we need to know, rather, what
11 the thermal/mechanical properties of the rock mass are.

12 We need to also know something about the thermal
13 chemistry on the effect of the mechanical response and also
14 the effect of the silica phase inversions which cause
15 significant thermal/mechanical effects.

16 [Slide.]

17 DR. POTT: I'm going to go through the next
18 viewgraph a little quickly. We have a few more excerpts
19 from the thermal loading tree that also raise additional
20 conditionals that have to be answered. These have to do
21 more with things -- hydrological questions.

22 [Slide.]

23 DR. POTT: The silica phase transformation which I
24 mentioned also raises additional questions.

25 [Slide.]

1 DR. POTT: And also backfill is something that the
2 thermal loading decision tree has worked on and that's
3 something we've looked at.

4 [Slide.]

5 DR. POTT: Another source of our information needs
6 really comes from what I call our customers, the people who
7 are going to actually use this information that we want to
8 generate. One of our principal customers for these tests is
9 the designers. To design, for their initial license
10 application, they'll need to have information for their
11 Title I design. And through talking with the people who are
12 responsible for the repository design, asking them what it
13 is that they need to know that they think our tests can
14 provide, we came up with a list that includes things like
15 the properties of the rock mass, the thermal properties, the
16 mechanical properties, the thermal expansion, properties of
17 the fractures.

18 The strength of the rock obviously is something
19 they're interested in. Material interactions, that has to
20 do with ground support, how does the ground support interact
21 with the ground at elevated temperature. Then, also, model
22 validation is another need that they would need for their
23 Title I design.

24 [Slide.]

25 DR. POTT: Another customer for our tests is Pre-

1 Closure Performance Assessment. We did the same thing.
2 We've talked to them and are, in fact, talking to them now
3 about what their needs are. They have their list of similar
4 items. They need, again, to know the properties of the rock
5 mass, including thermal/mechanical strength. They have
6 interests in stability and particularly were interested in
7 stability of intersections of drifts and, also, the effect
8 of temperatures on the properties.

9 [Slide.]

10 DR. POTT: Another customer for our tests is Waste
11 Package. The kind of things that they indicated that they
12 need would be rock mass thermal properties, again,
13 information on the near field environment, and also some
14 indication of drift stability under thermal loads. If the
15 drifts are collapsing on the waste package, that obviously
16 has some impact on them.

17 [Slide.]

18 DR. POTT: Another customer or the last customer I
19 will talk about is Post-Closure Performance Assessment.
20 What they need for the initial license application are some
21 bounding estimates. They won't need as complete
22 information. But in order to do that, they'll need to know
23 some rock mass thermal properties. They need to be able to
24 predict the temperatures around the drifts.

25 They're also interested in the temperature effects

1 on the thermal/mechanical properties of the rock mass. They
2 also have an interest in what's happening to hydrological
3 properties at the elevated temperatures. And they have some
4 need to look at coupling, the thermomechanical-hydrological
5 coupling and to sort of test out different hypotheses.

6 [Slide.]

7 DR. POTT: What you can do is sort of make a
8 summary of this and here what I have listed are the various
9 customers that we've identified who would use our
10 information and then the various information needs that we
11 have. You can see there is a bit of overlap among the
12 customers. Particularly, for example, rock mass thermal
13 properties is something that all the customers want because
14 they all need to predict the temperatures around the drifts.
15 You can't do that unless you know what are the thermal
16 properties of the rock mass.

17 [Slide.]

18 DR. POTT: So one driver for our tests is what
19 information do we need to collect. We have constraints on
20 us in order to collect that information. One, obviously, is
21 time. It takes a certain amount of time to run these tests.

22 But, also, there are time limits on when that information
23 is needed. If we collect this information too late, it
24 doesn't do anybody any good.

25 There are constraints on location. The targets

1 for these tests predominantly are the TSw-2 unit, but also
2 the TSw-1, because certain parts of the repository may
3 actually hit units that look like TSw-1. Another constraint
4 on our tests are construction methods. We're limited on
5 what kind of construction methods will be available to us on
6 one side. On the other side, we need to construct things
7 for certain -- to answer certain of the information needs,
8 we need to construct things to look like a repository, and
9 I'll get into that a little bit.

10 [Slide.]

11 DR. POTT: Well, with those constraints and those
12 information needs, put those together and we came up with a
13 proposed test program to meet the short-term needs. The
14 first three are a little bolder than the last. They're the
15 ones I'm going to talk about. Those are the ones that
16 involve temperatures. The last, the plate loading test, a
17 standard test, is more just mechanical test. I'm going to
18 talk about each of these three tests in order, the first
19 being the axisymmetric heater test.

20 [Slide.]

21 DR. POTT: But before I do that, let me take a
22 step back. I came up with the information needs and I have
23 to show now that the suite of tests that we've come up with
24 meet our information needs. If you look at it in a little
25 different way, here's the same information needs we had

1 before, but now I'm going to list each of the three types of
2 tests that we propose. And you see that even though no test
3 can meet all the data needs, between the three tests, we can
4 meet them all.

5 [Slide.]

6 DR. POTT: The first test we're just calling the
7 axisymmetric heater test. The purposes behind these tests
8 is to look at the thermal properties of both the TSw-1 and
9 the TSw-2 units because both of these units may be
10 encountered. And TSw-2, certainly we need to know -- to
11 understand that. TSw-1, we need to know whether we have to
12 disqualify an area or not when we run into that type of
13 unit.

14 Another objective of this test is to provide a
15 means to do model validation. We also will look in this
16 test at changes in permeability associated with temperature.

17 We'll look at the drying front associated with this. We'll
18 look at the fracture flow. This axisymmetric heater test
19 we're going to look at in both horizontal and vertical
20 configurations. I showed you a test, so I guess you don't
21 know what that means yet. It says ideal geometry.

22 The reason for this test is really what I call
23 very simple geometry and that's the strength of this test.
24 We can't accomplish everything we want with it, but its
25 simple geometry allows us to get a lot of information fairly

1 simply.

2 [Slide.]

3 DR. POTT: And what the axisymmetric heater test
4 simply is is just a central heater which will then give us
5 an axisymmetric geometry, at least if we -- in a vertical
6 configuration. In addition to monitoring the power, we will
7 also monitor such things as temperatures, displacements,
8 moisture content, and things like that.

9 [Slide.]

10 DR. POTT: As I mentioned, we can consider both
11 vertical and horizontal emplacement. This is a plan view,
12 looking down. One idea would be to go ahead and, off an
13 existing drift, build a U-shaped drift around a pillar and
14 then horizontally or perhaps at a slight angle to the
15 horizontal to measure any moisture flow downward, insert a
16 central heater.

17 And the advantage of a horizontal over a vertical
18 is then we can get more area -- it allows us to access the
19 rock mass surrounding the heater for more size. So these
20 are sort of complementary tests. The vertical one is
21 symmetric with respect to gravity. Here gravity will have
22 an influence, but on the other hand, we can get more
23 instrumentation around it.

24 [Slide.]

25 DR. POTT: I'm going to reverse these a little

1 bit. The second test, which is sort of complementary to the
2 first test, is a heated block test. I want to show you the
3 figure first and then discuss it. A heated block test is
4 similar to what was done in G-tunnel. What we do is we
5 isolate a block of rock approximately two meters by two
6 meters by three meters tall by cutting slots. We then can
7 insert flatjacks through which we can impose mechanical
8 load, control mechanical boundary conditions.

9 You notice that we have the joints here at an
10 angle with respect to the flatjacks so that we can actually
11 impose shear along the joints. Then we have two lines of
12 heaters on opposing sides of the block and this allows us
13 then to also, in addition to controlling the mechanical
14 boundaries, impose thermal changes to the block, temperature
15 changes.

16 [Slide.]

17 DR. POTT: To go back now, the heated block. The
18 advantages of this one are now we have the controlled
19 boundary conditions. We can begin to look at fracture
20 properties. We can look -- we have a better chance now to
21 look at such things as rock mass deformation and strength.
22 This gives us a different configuration, but it allows us
23 again to look at validating models that look at combined
24 thermal/mechanical hydrological effects. So a complementary
25 type of model validation. And it also allows us to look at

thermal expansion of the rock mass.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

[Slide.]

DR. POTT: Some additional -- no. That's all I want to say about that. Let me do the same thing. I want to reverse some pictures here and talk about the third type of test, the thermal stress test. Now, as opposed to the simple geometries and configurations of the first two tests, this one now emphasizes looking more like what a repository drift would look like. The shape of an invert is to be decided because that will follow whatever design most likely to be used for a repository.

The idea here is to heat the roof -- at least the roof of a drift, taking the roof because if we have rock mass failure, we can detect it by heating the roof, not heating the whole thing, because of our time constraints. And we can do various things about trying to change the gradients by changing the amount of heat throughout the heater to match more what it looks like in a repository.

So we heat up the roof of a drift and then we, again, instrument it to try to measure things like displacement and -- let's see. I guess that's all that's shown here is displacement. Thermocouples. So what we try to do here is displacement stresses, temperatures and moisture.

[Slide.]

1 DR. POTT: Now, to go back. The uses for the
2 thermal stress test is it -- as opposed to the other two
3 tests, it allows a demonstration of the rock mass behavior
4 on the emplacement room scale. So now we've moved up to the
5 scale, the actual scale of a waste emplacement room. It can
6 simulate the in-drift emplacement problem. The others were
7 more geared toward, for example, obtaining properties. This
8 test is not so good at obtaining properties, but it is good
9 at actually modeling the true waste emplacement problem.

10 This one we can allow a thermal overdrive and
11 actually determine not only are the drifts stable, but how
12 high do you have to go before they become unstable. We can
13 do this on a fairly short time scale, based on our previous
14 calculations for this kind of test. This also allows us for
15 the first time to look at the interaction between the rock
16 and the ground support, which was raised as an issue.

17 [Slide.]

18 DR. POTT: Some of the other additional things we
19 get out of this test are: the geochemical effects of manmade
20 materials which would be used in a drift; near field
21 environment, again, because we're looking more like an
22 emplacement drift; room scale model validation. The other
23 two also had advantages in the simple geometry, simple
24 boundary conditions advanced for validating a model.

25 But here, by having a realistic type room, there

1 are advantages to that. Also, we get to look at
2 thermal/mechanical effects on rock mass permeability.

3 [Slide.]

4 DR. POTT: The summary and conclusions. The test
5 program is being modified to meet the needs of the program
6 approach and the way it's being done is sort of through an
7 iterative approach, where we've proposed a set of tests and
8 told people what we think we can do for them. They're
9 letting us know are we on the right track, are we actually
10 meeting the needs of our customers.

11 Even though what I've talked about are the first
12 three types of tests, the only tests I talked about, there
13 will be additional later tests, similar to what Bill talked
14 about, that will be needed to support later licensing
15 decisions. We just having been emphasizing that on the
16 mechanical side. I shouldn't say mechanical side. On the
17 tests that emphasize the mechanical part of the coupling.

18 [Slide.]

19 DR. POTT: Finally, as part of the summary, what
20 the proposed thermal/mechanical tests will provide. First
21 of all, they're to provide the information that's required
22 for the performance assessment, for site suitability, but
23 predominantly initial license application is where these are
24 headed. These tests can be fielded within the time window
25 that we have to provide the information on license

1 application. The tests are fairly simple and they're
2 flexible enough to fit within the construction and
3 operational constraints.

4 This is important because these things are in a
5 state of flux. There is no definite word on, for example,
6 what kind of excavation equipment will be available and
7 when, exactly how much of the ESF will be excavated or even
8 what unit we'll be in. These kinds of tests are flexible
9 and so that they can accommodate the current situation.

10 These tests, however, are traceable and are
11 consistent with the SCP performance allocation process. In
12 other words, when the SCP laid out what the data needs are,
13 these are still consistent with that. They will directly
14 feed the thermal load decision process.

15 That's all I have.

16 DR. LANGMUIR: Thank you, John. We're going to
17 restructure things just a little bit here in order to give
18 people a chance to ask John and Bill Halsey questions, since
19 we're a little bit behind at this point. We do have time
20 this afternoon. We're going to move the final presentation
21 by Bill Boyle till the afternoon at the beginning of the
22 session and continue now with questions for John Pott and
23 Bill Halsey. And since John is up there, let's start with
24 questions for John. I believe that Ed Cording has one.

25 DR. CORDING: Thank you. Some of the questions I

1 think will be both for John and Bill together perhaps,
2 because I think that certainly we're looking at coupled
3 processes and there's a lot of coordination between the two.

4 I was wondering -- I guess one thing for John is
5 in looking at the low thermal -- if a low thermal loading is
6 selected as an initial approach, is there a possibility that
7 looking at higher thermal load conditions where significant
8 stresses are being applied to the rock surface and more
9 effective drift stability, the drifts are being more
10 affected by the stress conditions than the thermal
11 conditions.

12 If that's the case that we're looking at the low
13 initially, is it possible that the -- looking at these drift
14 stability questions would be something that could be delayed
15 till after licensing? At least a full look at that sort of
16 condition.

17 DR. POTT: I think in a sense we have deferred
18 --what we have in the plan still is similar to what Bill
19 described, our repository drift where we would heat the
20 entire surrounding rock around the repository. So we have
21 deferred some of that.

22 The thermal stress test -- well, again, based on
23 my conversation with what I call my customer, Design, they
24 did not see that we could defer that. They wanted to know
25 something about rock mass strength. So I guess my answer to

1 that is in talking to the people who are our customers are,
2 they still are interested. It's still an open question to
3 them.

4 DR. SATERLIE: Steve Saterlie, M&O. Let me see if
5 I can amplify on what John was saying a little bit. I think
6 there's really two issues there that are interconnected that
7 we have to worry about. First of all, we do and could have
8 a big package which can produce fairly high localized
9 temperatures that we have to worry about.

10 Secondly, from the standpoint of constructing the
11 drifts and designing this repository, they're going to have
12 to worry about and know where it fails. And that failure
13 knowledge has to be, I think, part of and incorporated in
14 the license application because that may indicate how much
15 -- how many rock bolts or the kinds of tunnel support that
16 may or may not be required.

17 I believe it does need to be -- those tests do
18 need to be conducted during the timeframe we're talking
19 about.

20 DR. CORDING: Another question on the descriptions
21 that Bill gave of the heater tests for the thermal hydraulic
22 testing, where showing that the walls are being over-driven
23 two levels, which would certainly be at or perhaps above
24 what one would obtain with the -- in round one of the
25 emplacement drifts.

1 I was wondering if that isn't what your plans were
2 for integrating the thermal/mechanical effects with the
3 thermal hydraulic in those same tests; for example, even
4 using -- looking at lining conditions and other things in
5 that suite of tests.

6 DR. POTT: You're talking about the drift tests
7 that Bill Halsey --

8 DR. CORDING: That's right.

9 DR. POTT: Yes. I'm not sure I can answer the
10 question.

11 DR. CORDING: The question is basically can you
12 get your information along with the thermal hydraulic
13 information from those tests.

14 DR. POTT: Well, we've been looking at that issue
15 quite a bit. I think the -- and I'm not sure we have a
16 definite answer. It tends to be that we can get the
17 information we need from his tests, but he cannot get it
18 from our tests. Cool-down is more important to him than it
19 is to us.

20 DR. CORDING: Bill?

21 DR. HALSEY: We have tried over the years to see
22 what can be done to combine some of these tests and where
23 they can work together. There are some areas where we're
24 using synergism, but we do have some different requirements
25 for the tests. As John said, they're interested in the

mechanical response of the rock that we over-drive.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
However, we want to make sure that that rock doesn't fail because we don't want it falling apart and messing up the geometry of our tests.

So if we expect it to fail, we're apt to bolt it all in place, which makes it hard for them to get their information. Also, as I pointed out, our tests, we want to have the gas phase flow pretty well sealed off and they need access to go in and apply mechanical loads and things like that.

DR. POTT: The configurations look similar and it's sometimes deceptive to think that, therefore, you can just go ahead and do everything with one test. It's not clear that that's true. We've been meeting for years trying to do that.

DR. CORDING: I certainly see the importance of understanding thermal/mechanical behavior. There's going to be a tremendous demand for space and time underground in the projects before 2001 and I think it's going to -- I think that there's going to be a lot of choices having to be made in trying to combine things to the point that they can be accomplished.

Perhaps some of these others where you're going a little bit further with it are things that may have to be delayed a bit.

1 DR. HALSEY: As John said, we've looked at this in
2 the past and we haven't had time to do it for this latest
3 rescoping in response to the program approach.

4 DR. CORDING: I think it would be interesting to
5 see what possibilities there are. I'm sure that there are
6 things that could be done that would benefit both groups, to
7 have the same tests.

8 DR. POTT: I think Bill and I would both agree
9 with that.

10 DR. HALSEY: We're interested in some of their
11 tests which have shorter durations going in when they're all
12 done, so you can see them tearing the rock apart and seeing
13 what's happened to the chemistries and things like that.

14 DR. CORDING: Sure.

15 DR. HALSEY: You saw some of that reflected in
16 John's presentation. They are looking at some of those
17 processes.

18 DR. CORDING: One other question. In terms of the
19 configuration of the perimeter of the tunnel, would you
20 prefer to have a TBM-type mine surface or is drill and blast
21 acceptable? What are your feelings on that?

22 DR. POTT: For the heated block test, that's --

23 DR. CORDING: I'm thinking more --

24 DR. POTT: -- the axi-symmetric heater.

25 DR. CORDING: I'm thinking more of when you're

really trying to simulate a tunnel surface.

1
2 DR. POTT: The closer we can get to a real
3 repository, obviously, the more you reduce the
4 uncertainties. And it's not clear that we'll get a TBM.
5 However, there may be some sort of compromise, such as drill
6 and blast, and maybe machine the last bit or something like
7 that.

8 DR. CORDING: Your feelings would be somewhat the
9 same on that, Bill?

10 DR. HALSEY: Yes. The closer you can get to
11 repository conditions, the better, but we'll take what we
12 can get and we can probably -- if it's drill and blast, then
13 we can use the surface or modify it.

14 DR. LANGMUIR: Pat Domenico.

15 DR. DOMENICO: Either Bill or John can address
16 this. I'm looking at a slide here on the heated block test
17 and that would be really the only information you'd have
18 before going into licensing. It says here "controlled
19 boundary conditions, fracture properties, rock mass
20 deformation and strength, thermal expansion of rock mass."
21 And then it says "model validation, coupled
22 thermal/mechanical/hydrologic effects" for the heated block.

23 Just basically what are you going to measure
24 hydrologically speaking and what do you anticipate to get
25 out of the heated block test? I understand the need for all

these mechanical properties. I'm just curious as to --

1 DR. CORDING: You're talking about the Fran Ridge
2 block test.

3 DR. DOMENICO: That's correct, the heated block
4 test.

5 DR. POTT: Okay. First of all, I think our tests
6 will be -- our tests are geared, the three that I described,
7 not the big drift scale, are designed to be completed in
8 time to feed license application. We talked about
9 complementary tests. So if you have a slide that shows
10 tests, it doesn't show maybe all the Sandia tests.

11 DR. DOMENICO: I see. All right. Fine.

12 DR. POTT: There was a slide earlier that had, I
13 think, all of them. Both of us are talking about tests that
14 couple thermal, mechanical, hydrological and chemical. It's
15 just that his tend to emphasize hydrological. Ours tend to
16 emphasize mechanical.

17 DR. LANGMUIR: I think the question is for Bill
18 Halsey really here.

19 DR. DOMENICO: I think the question might have
20 been for Bill, then.

21 DR. HALSEY: Up to licensing, we intend to have
22 the Fran Ridge large block test and some of the accelerated
23 in situ tests from the ESF. That's what I showed the
24 difference between what we expect to get from a large block
25

1 test and the accelerated in situ test is primarily larger
2 scale.

3 We will look at these processes at Fran Ridge on a
4 few meters scale, but with well controlled boundary
5 conditions and with three-dimensional characterization.
6 What we get in the accelerated aggressive in situ test is a
7 scale over a substantially larger size, many tens of meters,
8 where we can generate condensate zones which may be able to
9 drive fracture flow, look at buoyant convection gas flow
10 over tens of meters.

11 DR. DOMENICO: My understanding is that prior to
12 the license application, you will not have access to the
13 ESF.

14 DR. HALSEY: I think that that's -- Bill Boyle's
15 talk is how are we planning to get there between now and
16 then.

17 MR. BOYLE: I will address that this afternoon.
18 But we'll have access before then.

19 DR. DOMENICO: You will have access.

20 MR. BOYLE: If the TBM works reasonably well,
21 we'll have access.

22 DR. DOMENICO: I have one for Bill having to do
23 with the coupled process question. Obviously, one of the
24 bigger issues we have is what is the linking here that's
25 going to alter the permeabilities and porosities when you

1 have these heat effects. My sense from Dale's talk
2 yesterday and perhaps from yours as well is that you're not
3 going to see those in the accelerated tests or at least you
4 won't see them happening the way they might happen in the
5 repository. It's too quick to see -- you might see
6 precipitation, you'll not see the solution on the time
7 scales of the accelerated four-year tests.

8 Is that pretty much how you'd read it for the
9 block?

10 DR. HALSEY: No. I think we will see the
11 processes. We may not see them to the time extent. They'll
12 have somewhat different kinetics. But some of the regions
13 that I was indicating in the viewgraph where we want to get
14 some of that coupled process data, the geochemical data, is
15 regions where you may have substantial water flow over a
16 period of a number of years and then you can go in and see
17 what has happened.

18 That's a slightly larger scale extension of some
19 of the information that Dale talked about yesterday that
20 will come from the large block test. We'll do it on a
21 little larger scale underground. There are many meters of
22 rock there that will see conditions that represent a
23 significant time period in the repository. It certainly is
24 not the same as we'll see in confirmation testing.

25 DR. PALCIAUSKAS: Vic Palciauskas. I'd just like

1 to ask a question on your response. You're going to be
2 basically sampling, at least thermally, about 10 or 20
3 meters away from the drift in your seven-year experiment.
4 That's a lot of volume.

5 How are you going to make all those measurements,
6 geochemical samplings over such a large volume? You're
7 going to have to be very selective. Can you give me some
8 indication about that?

9 DR. HALSEY: No, I can't, because I haven't
10 designed those tests. Tom or Ardyth or someone who is
11 familiar with the test layout and the instrumentation.

12 DR. LANGMUIR: Is this part of Bill's presentation
13 this afternoon or not?

14 MR. BOYLE: No.

15 DR. PALCIAUSKAS: I mean, verifying convection in
16 the surrounding region is not going to be exactly a simple
17 thing to monitor, I think.

18 DR. BUSCHECK: Tom Buscheck, Lawrence Livermore.
19 I'm not the precise person to answer it. Wunan Lin has
20 looked at this in great depth. However, we do intend to get
21 a lot of vertical profile sampling in terms of the
22 temperature profile. That profile, as Bill and Dale showed,
23 could be highly diagnostic of how important a point
24 convection is. We intend to get as good lateral definition
25 as we can.

1 I think to think that one can run a smaller test
2 for the sake of getting more dense sampling, you have to
3 also consider the competing problem of heterogeneity. We're
4 trying to conduct these tests large enough so that the
5 relevant scale of heterogeneity is reflected somehow in the
6 test.

7 Also, we found that we could not go to a small
8 test because of edge cooling effects. We had to over-drive
9 the temperature at the center just to offset the effective
10 edge cooling. That's another competing problem. We also
11 wanted to have enough of a target for ponding, if that's
12 going to occur above the boiling region.

13 So I don't know if we'll ever get an idea amount
14 of sampling. We're going to try to get through our analyses
15 and looking at different types of things. Where the
16 hypotheses break down, we're going to try to sample enough
17 to see whether those hypotheses can be validated to the
18 extent possible.

19 DR. LANGMUIR: One of the issues would be the
20 permeability changes that would occur because of coupled
21 effects. How can you measure that in the underground
22 materials you've been testing? Using a pneumatic approach
23 or what?

24 DR. BUSCHECK: Certainly with a pneumatic approach
25 we could be measuring even during the tests and the

1 perturbation when you're injecting gas during a test that's
2 perturbing about four-tenths of an acre I think could be
3 shown to be relatively small.

4 There are other tests that we can deploy. George
5 Danko has remotely deployed thermal probes which can
6 actually locally, in a very fine detail assess the
7 importance of convection on heat flow. So there will be
8 other independent means to locally look at conduction versus
9 convection heat flow.

10 DR. HALSEY: If you remember the very large test,
11 we had access drifts above and below with a great deal of
12 instrumentation, cross-drift instrumentation above, below
13 and between the drifts. We're trying to figure out just
14 what can be done when you just have three drifts and you
15 don't have access above and below. But you can do slant
16 instrumentation holes above and below and do pneumatic
17 tests, temperature tests, humidity tests, try and look for
18 some of the fractures that are dynamic.

19 But that's one that I certainly don't know all the
20 answers to yet.

21 DR. LANGMUIR: I had one last one for John Pott.
22 I was concerned that the list he showed us was really the
23 kind of a large shopping list I remember seeing in the
24 SCPCA, the SCP site characterization activity. The acronyms
25 get to be a problem after a while here.

1 Anyway, looking at the overall rock system as he
2 is, I saw some familiar words. Tridymite and cristobalite
3 have come up and concerns expressed throughout the
4 flowcharts of what they might do to the rock properties. My
5 intuitive sense is we're looking at secondary mineral phases
6 and small fractures which represent a small volume of the
7 total rock and the rock is beginning with cristobalite. The
8 stuff you're going to start with is cristobalite. It's not
9 going to be -- it may be also created up temperature.

10 But have you done some scoping calculations --
11 here we're on the envelopes again -- to look at these
12 volumetric effects, which are small, in small fractures
13 within the system and what they might constitute in terms of
14 an effect overall.

15 DR. POTT: What we have done so far is laboratory
16 thermal tests where we have small samples. But, see, on
17 those small samples, we see large effects and that's what
18 identified them to us. So if those minerals are distributed
19 evenly, then they still would have perhaps a large effect.

20 DR. LANGMUIR: Isn't one of the biggest issues
21 what's going to happen in a drift when you have eventually
22 spalling effects if you don't have a backfill and you start
23 dropping pieces of material down on the waste packages? I
24 didn't see that as a consideration. I presume it's part of
25 what you're going to be addressing.

1 DR. POTT: We sort of incorporated that in drift
2 stability, things like that. That's the kind of thing we
3 are looking at.

4 DR. LANGMUIR: Dennis Price.

5 DR. PRICE: What do you know now and what will you
6 know more after these tests about the long-term intense
7 combined effects of thermal and nuclear radiation on the
8 rock and how important is it?

9 DR. POTT: I don't think we have addressed
10 anything to do with radiation. I don't even know on the lab
11 scale that we'll know anything in terms of coupled
12 radiological, mechanical, thermal.

13 DR. PRICE: And how important?

14 DR. POTT: Right.

15 DR. PRICE: Right what? Is it important?

16 DR. POTT: Is it important?

17 DR. PRICE: Yes.

18 DR. POTT: You're not asking the right person.
19 I'm only guessing the fact that we're not considering it.
20 Is there some indication that it's not important? But I
21 can't -- I don't know what studies have been done or what
22 that would be --

23 DR. PRICE: The two primary characteristics of the
24 source and its interaction with the host, to me, seems like
25 it's the thermal and the radiation.

1 DR. POTT: Right. And the closest I've come is
2 the effect of radiation on thermal expansion.

3 DR. GIBSON: Buz Gibson, M&O. I can answer at
4 least partially from a prior life in the world of nuclear
5 effects. The radiation levels in there, even cumulative
6 over time, are going to have very little impact on the
7 stability or the mechanical properties of the rock, even on
8 the near surface. And you get very far back into the rock,
9 and it will drop to virtually nothing.

10 DR. PRICE: With a potential for chemical changes,
11 how about the processes and so forth? Zeolites or anything
12 like that?

13 DR. GIBSON: Not very likely, simply because the
14 rates associated with that will be dominated by the chemical
15 rates and you won't see any impact as a result of the
16 radiation. If you had very high dose rates that were at the
17 level or high enough to compete with the rates at which the
18 chemical processes are occurring, then the answer would be
19 possibly. But they aren't.

20 DR. PRICE: And this confidence you have, is it
21 based on thousands of years of radiation?

22 DR. GIBSON: It's based on very large doses at
23 very high dose rates. In this case, we're having large
24 doses, but spread way out over time. It takes extremely
25 high doses to actually do much damage or see any mechanical

1 impacts in materials like that and it takes reasonably high
2 rates to have an impact on the chemical processes going on.

3 DR. LANGMUIR: We're just about on schedule. We
4 cheated to do it. But let's take our lunch break and
5 reconvene at 1:30.

6 [Whereupon, at 12:00 noon, the meeting was
7 recessed for lunch, to reconvene at 1:30 p.m., this same
8 day.]
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

AFTERNOON SESSION

[1:30 p.m.]

1
2
3 DR. LANGMUIR: Please take your seats. Our first
4 presentation of the afternoon is underground test
5 coordination. The speaker is William Boyle. As you may
6 remember, Bill did not get a chance to give this before
7 lunch. So he'll start our presentations now.

UNDERGROUND TEST COORDINATION

[Slide.]

8
9 MR. BOYLE: For those of you who weren't here, my
10 not speaking until now is perhaps an example of the PPA,
11 things being deferred or thrown over the fence. I'm going
12 to give a talk on underground test coordination, about the
13 steps that will be followed in implementing the activities
14 that were described by Bill Halsey and John Pott.

[Slide.]

15
16 MR. BOYLE: I think this has already been
17 mentioned more than once by a number of speakers and perhaps
18 the most important point is the second one. I think Bill
19 and John both mentioned this, Ardyth mentioned it, and I
20 would say this is one of our highest priority items right
21 now for these in situ heated tests in the ESF.

22 People can use different words. Here I used
23 refining, modified, however you want to think of it. But
24 will probably happen with the tests that have been described
25

1 is there will probably be a consolidation, optimization, if
2 you will, of the tests to get the information we need in a
3 reasonable timeframe and for a reasonable cost, without
4 duplication.

5 [Slide.]

6 MR. BOYLE: So here is what the rest of the talk
7 is going to be about, underground test coordination. First,
8 I'll talk about the components involved in test
9 coordination, pre-test planning, test planning, test
10 implementation. And then for those people who like graphic
11 representation of information, I'll show a figure that links
12 all those components in a process and then perhaps the more
13 interesting part will be at the end, some indication of
14 where and when for the test.

15 Now, I will tailor the talk a bit towards thermal
16 tests, but this process of underground test coordination has
17 been developed by the Test Coordination Office that Los
18 Alamos has for the DOE on the project, and it's already been
19 applied to the activities that have gone on in the ESF, the
20 construction monitoring activities at Sandia, the USGS test.
21 So the process works and it works well.

22 [Slide.]

23 MR. BOYLE: Here is an overview of the pre-test
24 planning activities. Now, these activities -- in some part,
25 it's serial in that items one and two will generally occur

1 before five and six. But some of the activities also occur
2 in parallel. And where I'd say we're at right now is in
3 activities one and two, where we're trying to define the
4 tests, determine which tests of those that Bill and John had
5 referred to, how we might consolidate them, marry them, if
6 we can.

7 But these are the steps in the process for pre-
8 test planning and over the next few sheets I will say a
9 little bit more about each of the steps.

10 [Slide.]

11 MR. BOYLE: As I had mentioned, this is where
12 we're at now. We're involved in this first step and I would
13 say as an estimate for these first two steps, which pretty
14 much go on at the same time -- these are two of the steps
15 that occur in parallel -- that by the end of this calendar
16 year, we would like to have a very good idea of what it is
17 we're going to do in our first heated test in the ESF.

18 [Slide.]

19 MR. BOYLE: After that, we would start interacting
20 more formally with the ESF designers, let them know which
21 design packages would be involved, whether it would be 2C or
22 8A or any of the other packages that they have. We would
23 also start talking about the timing of the test support and
24 those sorts of items.

25 [Slide.]

1 MR. BOYLE: All the tests that we do, all the
2 activities would go through these two steps, if necessary.
3 If the study plan needs revision, that will take place
4 before any of the activities go on. If the study plan isn't
5 in place and up to snuff, then the work will not happen
6 until that occurs.

7 [Slide.]

8 MR. BOYLE: The ESF design requirements document,
9 Appendix B, has requirements for each test. Each test has
10 these items for it in Appendix B. And the capitalization
11 and the word test doesn't mean anything. The spell checkers
12 work fine, but the capitalization wasn't quite right.

13 As the tests are further defined, then Appendix B
14 is further refined, also. You can think of it now, for
15 those of you familiar with DOE's Title I and Title II
16 designs, the information in Appendix B now might be thought
17 of as at a Title I level and as the tests are further
18 designed, this information gets up to more of a Title II
19 level.

20 [Slide.]

21 MR. BOYLE: This was the last pre-test planning
22 activities. We would have a conceptual facility design. We
23 would either have a new design package or a revision of an
24 existing one and we would start procurements. This step we
25 would hope to have done in FY-95. When remains to be seen,

but certainly before the end of FY-95.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

[Slide.]

MR. BOYLE: Those were the steps of the pre-test planning process. Now here are the steps in the test planning process. Things are evolving even more. These steps also -- they haven't been applied yet for the thermal tests, we're not there yet, but these same steps that are followed for the surface based testing program, they've been followed for the activities that have already gone on in the ESF.

So this process is in place. It works well. We'll just apply it to the thermal tests. And I think you can read as well as I can speak as to what will go on and just bearing in mind that the test planning packages are a further development or refinement of what went on in pre-test planning and then the job packages are even more refinement.

The guess at time there is by the end of FY-95 or early in FY-95 we would hope to have those activities completed for the first heater test in the ESF.

[Slide.]

MR. BOYLE: Then the last step in this process is test implementation. The test planning packages and job packages are controlled documents. This is a slightly different document. That's what is meant by an

1 administrative work plan. The test planning packages and
2 job packages, they can be audited, too. QA can come in and
3 ask you to prove that what you said you were going to do you
4 were doing and you have the right documents.

5 This is more of a document that is a recipe, I
6 think is a word that Ned Elkins used in his preparation of
7 these materials. It's a recipe for getting the work done.
8 So these documents would also have to be in place before any
9 of the tests, any of the thermal tests went on in the ESF.

10 Now, when the tests will occur we're not totally
11 in control of, the people in the testing community. It
12 depends on the progress of the TBM. In that last viewgraph
13 I'll show, you can get some hint of one estimate of where
14 the TBM might be. But if the TBM goes faster than people
15 think, then that puts more of a burden on Sandia, Livermore
16 and scientific programs to get -- and Los Alamos and their
17 Test Coordination Office to get all this paperwork in place
18 and get the process completed before any of the tests go on.

19 [Slide.]

20 MR. BOYLE: Here is a graphical representation of
21 what I have been talking about in terms of the steps that
22 are gone through. Toward the very end, you have field test
23 initiation and documentation. This is a handy reference for
24 people who are concerned how does information get to the
25 designers in time for them to design an alcove or take into

1 consideration what are the electrical requirements and that
2 sort of thing for a test.

3 There is a formal process. It hasn't been applied
4 yet fully to the thermal tests, but it has worked well for
5 the activities that have already gone on in the ESF.

6 [Slide.]

7 MR. BOYLE: Now, the last overhead actually has
8 quite a bit of information on it and it has information on
9 the schedule. I know that Russ McFarland was talking to me
10 about it earlier today. Here are some dates and Ned has
11 been nice enough to say where those dates came from.

12 The planned progress to this point is based on
13 schedules developed for FY-95. It's actually on -- the
14 official number is by September 30 of the next calendar
15 year. The plan, the schedule is to advance 1,280 meters.
16 They may go faster, they may go slower. I don't know if
17 that's a conservative estimate, an optimistic estimate, best
18 estimate. I haven't quizzed anyone. But that's the number
19 in mind.

20 You can calculate a rate of progress for that
21 point. We have another date down here that says 2,800
22 meters by February or March of '96. So roughly in six
23 months time, you go 1,600 meters, whereas it takes
24 approximately a year to go 1,200 meters. And some of that
25 difference in rate is due to the fact that the conveyor will

1 be installed during this timeframe, the mapping platform
2 will be installed in that timeframe. There are three
3 alcoves before 1,200 or right at 1,200 and before it, the
4 Bow Ridge fault and the contacts related to the PTn unit.

5 Now, this gives an idea of where we can conduct
6 some tests. What's been outlined on here from 1,200 meters
7 to 1,700 meters is a zone that you can call the TSw-1 non-
8 lithophysal zone. And one thing I'd like to point out is
9 these thermal/mechanical units, TSw-1 and TSw-2, I think of
10 them in terms of fruit baskets. There's all different kinds
11 of rocks in there. We don't have a geology where we have a
12 limestone against a granite or something like that.

13 There are parts of TSw-1 that are more like some
14 parts of TSw-2, then some parts of TSw-2 are like its
15 neighbors of TSw-2. So there has been some consideration of
16 conducting the first heated tests in TSw-1. Some people
17 might question the representativeness of rocks in TSw-1, but
18 as I've just said, these rocks are actually quite variable.

19 People have looked at this and there are units in
20 TSw-1 that look very much like units in TSw-2 in terms of
21 lithophysal content, style of fracturing, mineral content.
22 It may be an opportunity to conduct tests earlier, which is
23 one big advantage TSw-1 has over any other test location --
24 we get there first. So that is actively under consideration
25 right now.

1 Another thing we can consider is to get early
2 access to TSw-2, that's what this diagram and this little
3 stub shows. You can think of it in some ways as a north
4 ramp stub instead of a north ramp extension, that this would
5 not -- one of the purposes of the north ramp extension was
6 to go across the block and you could get an idea of the
7 structure.

8 Another purpose was to provide access for thermal
9 tests. Well, you can still do that and what Ned has done is
10 given us an example of how we might do it. This little stub
11 takes off and goes up-dip, if you will, to minimize the
12 distance required to get to TSw-2, and that's what this
13 cross-section shows. At this point, they know that the
14 north ramp is 20 meters above the TSw-1/TSw-2 contact.
15 They're driving down at two degrees and the geologic -- the
16 dip, they're going up-dip.

17 If they do it at two degrees, it takes 185 meters
18 to reach that contact and as the little note says down here,
19 if they were to go down at ten degrees, it only takes a 72-
20 meter drift to get to the contact.

21 Now, once people get out here, it's possible to go
22 farther and by doing so you're starting to get the vertical
23 variability if you continue on or you could go along strike
24 and examine the lateral variability and do any number of
25 heater tests in that area.

1 I said it was a busy diagram, but I think I've
2 addressed most of the information. That is the current
3 thinking. And if things were to go well and we were to
4 field our first test somewhere here based on that schedule,
5 it would be perhaps by the end of next calendar year that we
6 might have our heater tests started.

7 Any questions?

8 DR. LANGMUIR: Bill, I didn't see any discussion
9 -- maybe it wasn't appropriate for you to do it -- of the
10 size of the tests you'd need. Presumably, if you're going
11 to do a low loading test, it's a different scale study, a
12 different scale block than a high loading test. The
13 phenomena are different, the rates at which they -- maybe
14 this is for Bill Halsey. The rates at which they impact the
15 rock block differ. The observation time scales differ and a
16 whole host of things are going to be different about them.

17 So I would presume you couldn't just take the same
18 block and do all three loading tests on the same block. Is
19 that a presumption that's incorrect?

20 MR. BOYLE: I will address that. People have
21 mentioned that we haven't gone through that last round of
22 consolidating the tests or coming up with our final test
23 plan. And I agree. Bill Halsey is the right person to ask,
24 in some ways, and so is John Pott of Sandia.

25 The department is going to rely upon them and the

1 M&O to come up with a test plan that's going to work and
2 address all the issues of concern for technical site
3 suitability.

4 DR. HALSEY: Bill Halsey, Lawrence Livermore. The
5 work that was -- well, Dale Wilder yesterday went through
6 quite a bit of the thermal tests and the hypotheses that you
7 need to test for both the higher and the lower thermal
8 loading regimes and they are both addressed by fairly large
9 aggressive tests.

10 So it's not substantially different if you're
11 trying to focus more on the lower than on both. It's very
12 similar to the size scale test that I was showing and that's
13 the kind of test that we would like to run. Perhaps Ardyth
14 or Tom could elucidate.

15 DR. BUSCHECK: Tom Buscheck, Lawrence Livermore.
16 I think as we're seeing in some of these local drift scale
17 calculations that we could be seeing substantial dry-out. I
18 think they call those an LED, localized extended dry
19 calculations. I think that all eight of those hypotheses
20 could be needed even for a low thermal load, where we found
21 we were mobilizing a lot of water and creating some dry-out.

22 The first four hypotheses are applicable to even a
23 theoretical low as well as the higher thermal load. So Bill
24 is right. We really do need to run tests looking at the
25 same phenomenology for both the high and the low thermal

load.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

DR. LANGMUIR: Ed Cording.

DR. CORDING: I was wondering in the tests for the -- the three-drift tests that Bill showed, one would be -- one series would be a high rate short-term and the other would be a lower rate. So are you talking about two setups, like what you showed in your overhead?

DR. HALSEY: Yes. It's also possible that we would like to go to an even larger test for the long term to get the larger spatial scale that I showed in the very large test, seven-year test.

DR. CORDING: And the drift size is on the order -- or the size of the tunnels that you're looking at, what sizes were you thinking of there? Just diameter.

DR. BUSCHECK: About four to five meters.

DR. CORDING: Then I had one question for you, Bill. If you had -- if the tunnel boring machine could be where you would most like it to be when you're ready, where would you like that? Where would you like to put the thermal tests? What would be your preference, assuming it could be done on your schedule?

MR. BOYLE: This is my personal preference.

DR. CORDING: Yes. Well, whatever preference you want to describe.

MR. BOYLE: But this is my personal preference and

in our discussions and consolidation, I'd argue for TSw-1.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

DR. CORDING: As opposed to?

MR. BOYLE: I would argue instead of waiting to get something that's more representative of TSw-2 --

DR. CORDING: No. I'm not talking about waiting. I'm saying don't -- I mean, that somebody could magically put you where you wanted to be in about a year.

MR. BOYLE: TSw-2.

DR. CORDING: Okay.

DR. LANGMUIR: Russ McFarland.

MR. McFARLAND: Bill, you made a comment with regard to Sandia and Livermore being ready to start tests based on the rate of progress of the tunnel boring machine. Would you explain that?

MR. BOYLE: It's just that it puts more of a burden on them and the DOE. If the TBM goes faster, we'd really like -- if we decide to test here, we want to be ready to go shortly after the TBM is there. We don't want to reach here quickly and then wait six months because we're not ready.

MR. McFARLAND: But what you're saying then is essentially, if I hear you right, that wherever you're going to build an alcove, you want to stop the machine.

MR. BOYLE: I don't know those -- I'm not involved in --

1 MR. McFARLAND: I don't understand what you're
2 saying then. You could always excavate beyond the place
3 that you're going to have the alcove. When the laboratories
4 are ready to build their alcove, build it. I don't
5 understand.

6 MR. BOYLE: But what I'm trying to get at here is
7 there was a question earlier by Pat Domenico whether some of
8 this information -- what information would be ready for
9 license application. The sooner we get the tests started,
10 the more information we have by the time of license
11 application. That's the reason for starting it as soon as
12 we can.

13 MR. McFARLAND: Thank you.

14 DR. LANGMUIR: Anymore questions from the Board?

15 [No response.]

16 DR. LANGMUIR: If not, thank you. Thanks, Bill.
17 The next presentation is Steve Brocoum, giving us a summary
18 of the DOE's presentations and approach at this point.

19 SUMMARY

20 [Slide.]

21 DR. BROCOUM: I was just going to summarize very
22 briefly and also talk a little bit about our planning
23 process. As we can tell from this whole meeting we've had
24 the last few days and now getting ready, this is -- thermal
25 loading cuts across the whole program, more than just about

1 any other subject we have. We need to get Office of Waste
2 Acceptance, Storage and Transportation, the project
3 management. What do you guys call PMI integration, Ron
4 Milner's project office?

5 We've been recently reorganized, both at
6 Headquarters and out at the project and we're trying to
7 improve our planning. Dan Dreyfus is a very strong believer
8 in strategic planning and he's put us through a lot of
9 strategic planning, and I want to spend a couple of seconds
10 talking about that.

11 So I'm going to talk a little bit about our
12 program, our five-year plan, our program approach. I want
13 to quickly summarize the thermal management strategy and the
14 options and show you a diagram that tries to pull it all
15 together, how we think we're going at this point in time.

16 [Slide.]

17 DR. BROCOUM: At the last TRB meeting, we did give
18 out our draft five-year plan. That five-year plan is volume
19 two of a three volume document that we hope will be issued
20 this year. The first volume will be kind of an overview
21 volume. The second volume is what we gave out, at least in
22 draft form, at the last meeting, and the third volume is the
23 balance of the program.

24 This is our attempt to pull everything together
25 under one programmatic document. You can tell from all the

1 meetings we've had that this is a big job. The volume we've
2 issued so far has our major activities for the program
3 approach, has interim milestones. We're trying to focus the
4 program more on deliverables. It tries to clarify the
5 relationship of activities, products and budgets. It tries
6 to show that they address suitability, NEPA, licensing, all
7 management compliance. Every product has to have, in a
8 sense, a customer.

9 [Slide.]

10 DR. BROCOUM: We're trying to implement not only a
11 strategic planning process, but a better planning process
12 for the project itself. We're trying to identify, as I
13 said, our products. We're trying to do assessments to see
14 what information we need for those products, products for
15 the site suitability, the draft and final EIS, the license
16 application, the annotated outline. We're focusing very
17 much in those directions.

18 So that defines the information we need. We have
19 our five-year plan, which is, in a sense, the long range
20 plan. We'll have the annual plans. We'll have the tips,
21 which will be out the end of this month. We do all our
22 studies of deliverables. We have feedback and we have a
23 planning process that will start about January of each year
24 and lead to the next fiscal year's work to get us all these
25 key products.

1 So we're kind of trying to unify the program, both
2 at the project level and throughout the whole program.

3 [Slide.]

4 DR. BROCOUM: Obviously, thermal management is a
5 key element. We're trying to phase our program suitability,
6 NEPA, EIS and so on, licensing. So we need to have
7 flexibility. We're trying to pick a thermal loading that
8 will support for the NRC to find a reasonable assurance
9 finding when we submit our license application, and we
10 talked about all these things before.

11 And the important point to make here is the idea
12 of a concept of -- we'll probably be on the low range of the
13 thermal range that we can accommodate by design is a
14 technical decision. It's a strategic decision as to how we
15 could move forward. That's the important thing. There's a
16 lot of debate, actually. I was hearing people say we think
17 we ought to go high, we think we ought to go low. That's a
18 technical debate.

19 Our decision to proceed the way we're proceeding
20 is a strategic decision to allow us to keep moving forward
21 and making progress. That's the point that has to be
22 absolutely clear.

23 Obviously, we're trying to keep a flexible system
24 design to allow us to take whatever will be the appropriate,
25 from a technical perspective, thermal load for the

1 repository. So in a sense, we're trying to demonstrate
2 progress, on the one hand, and we're trying to keep from
3 making decisions that will lock us up too early so that
4 scientists can get the work done.

5 [Slide.]

6 DR. BROCOUM: A lot of options were discussed.
7 Again, this is, again, looking at the program from a very
8 programmatic view. A lot of these options up here on the
9 age and burn-up and latch storage and repository storage,
10 all of these have to do with Office of Waste acceptance.
11 Buz Gibson talked about a possibility for arranging a fuel
12 types repository.

13 We realized initially that the prime area, based
14 on what we submit to the NRC, may not be able to accommodate
15 all 70,000 metric tons. We need to consider expansion
16 areas. We need to worry about the size of the MPC. We need
17 to look at things like ventilation.

18 We've got to keep those options -- that's the
19 whole purpose -- available to us. We don't want to preclude
20 them before we've actually made the proper decision. And
21 that leads to the tensions, if you like, that we have
22 between the designers, who would like to know what their
23 requirements are so they could move forward in the design,
24 and the scientists and the regulatory people, who would like
25 to have more time to think about these things.

[Slide.]

1
2 DR. BROCOUM: This is an attempt to try to put it
3 all together on a simple diagram, which lays out some of the
4 options here, which leads to a flexible design, lays out the
5 key decisions we think we have to make in the thermal area,
6 and lays out in three groups the types of thermal testing --
7 the short, the laboratory and the short-term, the longer-
8 term in situ tests, and the really long-term test which
9 would be the result of actually loading waste packages in
10 the repository.

11 So we have kind of a continuum here where we start
12 with a -- that's an NRC term again -- the maximum design
13 basis. We would update this about the year 2008. We would
14 confirm it and update it during the operational phase.

15 Whenever you put a diagram like this together, of
16 course, you can't cover all eventualities, but it's an
17 attempt in one diagram to capture where we are at this time
18 today. Again, I have to emphasize this is a strategy and
19 not a technical decision and that strategy can change as we
20 get new information.

21 That's all I really have to say.

22 DR. LANGMUIR: Thank you, Steve. That's a lot in
23 a hurry. Any questions from the Board?

24 [No response.]

25 DR. LANGMUIR: I had one that's maybe not

1 substantive, but I noticed that some wording, philosophical
2 wording differs in what I saw here than what I'm used to
3 seeing from the DOE. That was that you state that the EBS
4 is to inhibit radionuclide mobility and to compensate for
5 uncertainties in the natural barrier performance as opposed
6 to being redundant. We've heard on the redundancy that the
7 defense-in-depth -- this is a -- compensation is a different
8 argument.

9 It implies to me that you have less confidence
10 that you're isolating things, that you have to compensate
11 perhaps or you might have to compensate.

12 DR. BROCOUM: I don't think it was meant to
13 necessarily imply that. But we do realize there will be
14 residual uncertainties no matter how many studies you do of
15 the natural barriers. But we also are trying to emphasize
16 that during the operational phase and the early post-closure
17 phase, we are putting a lot of allocation, if you like, on
18 the engineered barrier system.

19 I think you mentioned you thought that was a --
20 that's been evolving now for several years within the DOE,
21 even before the program approach of the more robust waste
22 packages. So that's been a constant.

23 DR. LANGMUIR: John Cantlon.

24 DR. CANTLON: Steve, I'd come back to something we
25 chatted about on your first presentation and that is as you

1 try to maintain the flexibility by going in with the low
2 temperature approach as a strategic way of keeping the
3 process going, it seems to me that that has a degree of
4 incompatibility with your program trimming of what data you
5 must bring to that set of decisions.

6 And we mentioned yesterday the idea that if you
7 have a low temperature, you need a lot more space and,
8 therefore, you need to know more about a bigger portion of
9 the block by making that choice.

10 The other thing, it seems to me, that goes in the
11 same direction, the lower temperature gives you a much more
12 difficult set of challenges in corrosion than the high
13 temperature regime, which means that you probably want to
14 look at the lower substrates below, because you're going to
15 now be dependent on the natural barrier to a much larger
16 extent.

17 Could you address what seems to me to be a
18 disharmony there?

19 DR. BROCOUM: You're right and it does bring some
20 problems or issues. On the space issue, there are different
21 ways you can approach that. For example, your initial
22 license application, and I think Steve Saterlie mentioned
23 that the other day, may not be for the full 70,000 metric
24 tons. It could be for what you think you could support at
25 that time in the prime area, if that's the area that you

1 have confidence in and you don't have the same degree of
2 understanding of the expansion area.

3 That's a possibility. I'm not -- I'm just talking
4 possibilities now. And then through time, as you update
5 your license application, you can not only update to add
6 expansion areas, you may update to reconfigure the existing
7 planned repository or some combination of the two. It
8 really depends on what kind of a thermal loading you think
9 you can go to.

10 In terms of the corrosion problem, that is one of
11 the issues we have to worry about because the designers say,
12 well, we may need a different package if we're planning for
13 a relatively low temperature repository. So then you may
14 design a different sleeve or outer sleeve.

15 You may then -- if you decide to go high, you may
16 have to incur a cost of pulling those -- it's conceivable
17 you have to pull them out and change the sleeve. So that is
18 an issue. We're aware of it. I don't really have an answer
19 for you.

20 DR. CANTLON: Thank you.

21 DR. LANGMUIR: Any more questions from the Board
22 or Board staff?

23 [No response.]

24 DR. LANGMUIR: Any questions from the audience at
25 this point?

[No response.]

1
2 DR. LANGMUIR: We're scheduled right now to go to
3 what we call perspectives and we have listed on the agenda
4 the opportunity for someone from the State of Nevada to make
5 a presentation, a perspective view. I understood that this
6 was to be Steve Frishman, am I correct? Steve Frishman. Go
7 for it.

8 PERSPECTIVES

9 STATE OF NEVADA

10 MR. FRISHMAN: I will do my usual perspective
11 without viewgraphs. It makes life a lot easier. You're all
12 getting very used to seeing my notes.

13 After listening for the last two days, I think I
14 will do what I guess we've gotten used to me doing at the
15 ends of your meetings, and that's giving you an idea of some
16 of the things that I think about what I heard and what I
17 hope you heard.

18 I also need to sort of think back to how long I've
19 been involved in this program and, once again, it's
20 absolutely obvious that the only thing that's standing still
21 is the schedule. We've spent two days talking about plans
22 for plans one more time.

23 On the subject of thermal loading, I keep
24 listening to the things that Steve Brocoum says as the PPA
25 evolves into the PA and now evolves into -- we're more

flexible, we're still just designing the program and so on.

1
2 Now, he just told you that the thermal loading decision for
3 the technical site suitability decision is just a strategic
4 decision. Well, we've also heard that the technical site
5 suitability decision is just a management decision and
6 ultimately the Secretary is going to have to have a decision
7 under the Nuclear Waste Policy Act to recommend the site to
8 the President, and that is a suitability decision.

9 I'm having a very difficult time with trying to
10 understand the logic of this thermal loading strategy
11 approach. We've gone through the different opportunities
12 that are available, below boiling, some type of a mid-
13 temperature that has boiling maybe around the package or
14 trying to create a boiling temperature in the entire bulk of
15 the system.

16 Well, first of all, if you remember, a couple of
17 years ago, I boldly suggested that the waste package was
18 going to end up driving repository safety. Well, it looks
19 like that's what is happening. And one of the new things
20 that we saw today that I had never seen before was in one of
21 the presentations, it actually talked about impacts of the
22 MPC. The MPC is something of a liability in this system
23 because for all the flexibility everybody seems to be
24 looking for, the MPC is locking you into things. Like it's
25 virtually impossible -- unless you want to wait a lot of

1 years, it is virtually impossible to have a below-boiling
2 system.

3 It's going to boil around that package anyway if
4 you operate on the schedules that you claim that you want to
5 operate on. So you have already knocked a major piece of
6 flexibility out of the repository system, where safety is
7 paramount, to take care of a political problem that the
8 Department of Energy has. And I say that that's a very bad
9 decision at this point. It has put you in a position where
10 -- or put all of us in a position where we're going to have
11 to, first of all, except for a technical site suitability
12 determination in 1998, going to have to accept the concept
13 of a cold repository, even though it's not going to be cold.

14 We're going to have to accept the strategy that
15 says we'll be -- with increased information, we're going to
16 be looking to make it hotter and hotter, and who said hot is
17 good. There's an objective to make it hotter and hotter,
18 meaning to move away from that cold boundary. But we also
19 have heard and we've heard even more boldly in other
20 presentations than what we heard here in the last couple of
21 days that the midrange looks to be the most risky, most
22 risky in terms of you have failed waste packages and reflux.

23 So if you're going to sneak up on a warmer and
24 warmer repository, you're going the wrong direction. If
25 you're going to start out saying that it's going to be cold,

1 even though it's not, and want to go just a little bit
2 towards hot, then you're actually, from what the
3 presentations say, you're actually creating more problems
4 and you're setting up a system where you have less and less
5 certainty in what the release rate is really going to be,
6 because you don't understand the flux system and probably
7 never will because of the extent to which the site is
8 disturbed, meaning cut with faults, cut with fracture zones,
9 and the whole other suite of uncertainties that are
10 involved.

11 So I think this strategy for thermal loading
12 doesn't do what Steve has told us for -- ever since the
13 beginning of the proposed program approach -- has told us is
14 the end point of the site suitability process. The end
15 point of that is, as he put it one time, the Secretary's
16 recommendation of the site for a license application is the
17 Department's safety decision.

18 As he's put it, we have a management decision in
19 1998. In the year 2000, we have a safety decision by the
20 Department of Energy. Well, I put to you is there going to
21 be enough information out of this thermal loading strategy
22 to make a safety decision in the year 2000. I say no.

23 Now, there's another piece that has not been
24 mentioned. We've been hearing the discussion of the models.
25 We've been hearing the discussion of a bulk thermal

1 loading. Well, we have to remember -- and it is mentioned
2 occasionally, but I think its ramifications aren't really
3 appreciated, at least in the modeling at this point. You
4 have to remember the extent to which this site is
5 inhomogeneous. We've got the Ghost Dance fault that is
6 probably a 1,000 feet wide fracture zone and there is good
7 evidence that at depth it looks pretty much the same as it
8 does on the surface.

9 We've got another fault zone running off to the
10 northwest that has similar dimensions. If you add up -- if
11 those are of that dimension at repository depth, add up the
12 area involved and you're looking at about a 20 percent
13 decrease in the entire size of the repository footprint and
14 it cross-cuts.

15 So now how are we going to deal with looking at
16 bulk thermal loading when we know that we have a couple
17 thousand foot-wide stripes taken out of the system, where if
18 we can believe the earlier thought that they're not going to
19 be used for emplacement areas. What is that going to do to
20 the thermal management? You're going to be managing some
21 very odd size pieces of rock and you're going to have them
22 broken by what may, in fact, be hydrologic conduits, what we
23 certainly know are unlike the rest of the rock in terms of
24 vein filling and so on.

25 So you're not managing a repository block. What

1 you're doing is managing a bunch of blocks with some things
2 cross-cutting or between the blocks that you don't really
3 understand and probably never will in terms of their
4 hydrology and how it affects the rest of the area under
5 Yucca Mountain. We're not talking about a block.

6 So I think if the modelers want to continue with
7 the pretty pictures that we've been seeing, we need to start
8 looking at some of the realities of this site. The major
9 realities are the breaks in the site that keep it from being
10 a block, even though for years it's been referred to as one.

11 Now, I guess a process question for the Board.
12 Given the site suitability evaluation process that you've
13 had presented to you, given what we now see as a strategy
14 for making a thermal loading decision and what we think will
15 be known and not known at various stages through that
16 strategy, how is the Board going to satisfy its charge to
17 comment on the technical validity of the Department's work
18 when the Department begins pushing out these technical basis
19 documents?

20 How are you going to be able to tell the
21 Secretary, tell Congress, tell us in Nevada what you think
22 of the validity and the quality of that technical basis
23 report when the process is set up in such a way to where you
24 have a statutory duty to report, and I know you have your
25 twice a year reports, we have -- we, the State of Nevada,

1 have a statutory duty to oversee this program and weigh in
2 on a technical basis on suitability first, forget licensing
3 for the time being, just suitability first, because that is
4 the Secretary's safety decision.

5 I think it's something that you need to start
6 thinking about. I've been thinking about it in terms of how
7 the state is going to be able to evaluate those technical
8 basis reports, how we're going to be able to deal with what
9 is becoming a more and more broadly embedded reduction in
10 the amount of information that all of us were led to expect
11 at the time a suitability determination would be made.

12 I think it's something that I would like to have
13 the Board at least think about how they're going to handle
14 their end of that. We're not sure at the state level how
15 we're going to handle our end of it. But I think it's
16 important for the Board because your reports every six
17 months or so certainly are not going to be in sync with the
18 schedules that you've seen.

19 You're certainly not going to be able to keep up
20 with the fast pace of the topical technical basis reports
21 that, at least if the schedule holds, are going to be dumped
22 out. And if you don't weigh in on the technical basis,
23 where are you going to? It seems to me that that's the
24 first place that you need to.

25 So the site suitability evaluation process has put

1 us all sort of in a new world and in the process of that, to
2 repeat myself somewhat, some of the major decisions that
3 need to be made that might make the site suitable or not are
4 essentially deferred or they're hidden under the name of
5 strategic decision.

6 So I guess I'm becoming more and more concerned
7 that the program is setting out to build a repository, solve
8 whatever problems come up at the time they need to be
9 solved, and the concept of making a safety decision is sort
10 of being put off. Ultimately, it's being put off to what do
11 we need to do for licensing and now what we're seeing is a
12 licensing scheme that I don't think there's any precedent
13 for with the Nuclear Regulatory Commission.

14 And the Nuclear Regulatory Commission has not said
15 that this phased licensing scheme is okay. I've heard what
16 they've said and they have not said that it's okay.

17 So we're in a situation where the Department is
18 going to make decisions, whether we think they're good or
19 not. They're going to lead to a license application,
20 whether the NRC thinks it's good or not. And we're never
21 going to quite get to what we all expected when some of us
22 who were involved in writing the Waste Policy Act in '82,
23 what some of us expected.

24 What we expected was an orderly scientific process
25 to be able to get to what we considered a reasonable

1 scientific decision, because we at that time believed the
2 geologic isolation was probably possible. We're just not
3 going to get to that. What we're going to get to is
4 something underground that goes on for a hundred or more
5 years while people are deciding when to slam the door; not
6 whether it's safe, but when to slam the door.

7 As you can tell, my mood is deteriorating fast
8 because the program is sliding out from under -- sliding out
9 from everything that I think we all believed it was supposed
10 to be when we started out with the Nuclear Waste Policy Act.

11 And this thermal loading decision, which I think
12 is maybe one of the most critical in the whole program, is
13 now being relegated to a strategic decision at just the time
14 when a decision is going to be made that it probably puts us
15 on an irreversible track. And I'm not sure that the
16 information is there to make any decision, but as I said to
17 start with, the only thing that is standing still is the
18 schedule one more time.

19 I'm sure there are questions.

20 DR. LANGMUIR: Bill Barnard. Thank you, Steve.

21 DR. BARNARD: Bill Barnard, Board staff. How does
22 the state view the site suitability decision? How important
23 is it, things like that? What does it mean to you?

24 MR. FRISHMAN: Aside from the way the Department
25 has dissected it in their technical site suitability

1 decision, the site suitability decision at the end of site
2 characterization as laid out in the Act is probably the most
3 important decision that's made in the entire effort for
4 geologic disposal, because you have the Department of
5 Energy, which is a proponent of a project for geologic
6 disposal, you have the Secretary of that Department making a
7 policy decision for the nation.

8 And it is supposed to be an accountable policy
9 decision. Site suitability is the scientific basis for the
10 Secretary's decision. If the Secretary makes a decision
11 that is not scientifically based, as required by the Act,
12 then the Secretary is vulnerable, first, to a lawsuit for an
13 arbitrary and capricious decision, which, if things go as I
14 see them going, it's not unlikely that the State of Nevada
15 could win a case like that and that would set the country
16 back not the 16 years that we're behind now, but probably to
17 32.

18 So, yes, I see that as the key decision because
19 lets face it, if this goes to a license application, it is
20 unlikely -- in fact, it's probably impossible that it would
21 not be licensed. The Nuclear Regulatory Commission licenses
22 things. So it's the most important decision and the most
23 accountable decision in the entire process, I think.

24 DR. LANGMUIR: Steve Brocoum, you didn't raise
25 your hand, but would you like to comment?

1 DR. BROCOUM: There aren't many times that Steve
2 Frishman and I agree, but I think we both agree that the
3 site -- I always say that the site suitability decision is
4 the most important decision DOE will make.

5 I just wanted to make one comment, if I can. To
6 get to the technical site suitability, we're going to go
7 through very many smaller decision points. We're going to
8 make findings on all the guidelines. Only when we make
9 findings on all the guidelines can then the Director make a
10 decision on technical site suitability.

11 So it's a very elaborate, as you understand,
12 process. We've worked with the external parties to develop
13 it. We're finalizing it. We've had numerous meetings.
14 There are several meetings planned for December to explain
15 the process and answer questions for the parties and then
16 we're embarking down this road next year with our very first
17 technical basis report, which goes to the National Academy
18 and to the involved parties for peer review.

19 But the formal decision from the Department of
20 Energy is a decision that the Secretary makes when she sends
21 her site recommendation report to the President of the
22 United States. I'm just trying to make that little
23 distinction. That's the formal decision. I think Steve
24 also characterized it correctly there.

25 MR. FRISHMAN: I think, among other things, that

1 points out the urgency of the question that I have laid on
2 the table for you as a Board to try to figure out how you're
3 going to deal with the site suitability evaluation process
4 and, first, how you're going to deal with the technical
5 basis report when none of us even yet know what a technical
6 basis report is going to look like.

7 DR. LANGMUIR: I might just say the Board is
8 concerned about that and we are internally looking at those
9 issues and trying to resolve for ourselves where we think
10 things need to be.

11 Thank you, Steve. Are there further questions?
12 Steve Brocoum, again.

13 DR. BROCOUM: One more comment. Last -- it must
14 have been February, we had that one-week technical review.
15 We're planning a technical review for about a week in the
16 middle of the February. Last year was very much from the
17 principal investigators' perspectives. This year, we
18 haven't finished planning it, but we're actually planning it
19 about the technical basis reports.

20 So what we expect in them and what the principal
21 investigators who are involved in the program think they
22 --how they can think they can give that information that
23 we're expecting. So that's how we're planning. I think
24 it's the week of February 17, but I don't have a calendar in
25 front of me.

1 So we are planning that what we call a TPR,
2 technical project review, program review.

3 MR. FRISHMAN: And that will be the managers
4 actually saying what they think they can put in a report or
5 what they think the report ought to be?

6 DR. BROCOUM: That will be the people who are
7 responsible in the regulatory area for defining what they
8 think should be in those reports and it will be for the
9 scientists, through the principal investigators, telling us
10 how they think they can get us that information. It will be
11 trying to increase that communication between the
12 scientists, on the one hand, and the people that are trying
13 to decide what we need to make those various findings in
14 960.

15 MR. FRISHMAN: It seems to me that with all the
16 time that has gone into this program and will be going into
17 it, at least if we believe what we've heard in the last
18 couple days, it seems to me the technical basis report ought
19 to be separate from any regulatory consideration. It ought
20 to be the Department putting on the table everything it
21 thinks it knows about that particular topic relative to the
22 site rather than filtering it for some type of a manipulated
23 regulatory determination. Ask the scientists what they
24 know.

25 MR. BROCOUM: That's correct, but we're trying to

1 get everybody to work together to define what we think
2 should be in them and let the scientists help fill -- I
3 mean, the scientists are going to provide all the data from
4 which these reports are built.

5 MR. FRISHMAN: I guess I'm just suggesting that it
6 should not be regulatorily driven. It should be driven by
7 what the scientists think they know about the site and don't
8 know.

9 DR. BROCOUM: Unfortunately, the program is
10 regulatorily driven.

11 DR. LANGMUIR: Thank you both. This next
12 perspective I believe is John Kessler with the Electrical
13 Power Research Institute.

14 ELECTRICAL POWER RESEARCH INSTITUTE

15 DR. KESSLER: Now for something completely
16 different. I guess I will start off philosophically. When
17 you're trying to dispose of a waste that has a thermal kick
18 to it, thermally generating waste, you're bound to disturb
19 any geologic site no matter where it is. If it's Yucca
20 Mountain or somewhere else, you're going to cause a thermal
21 disturbance. I think we need to just remember that as we go
22 on.

23 So if we look at the thermal loadings that we're
24 talking about and if I wanted to take the perspective of
25 comparing it to an undisturbed site, from what I heard at

1 the ANS session on Wednesday, the lowest thermal loading
2 that DOE is thinking about is 100 times that of the natural
3 thermal gradient that's occurring at Yucca Mountain. The
4 highest one is only 500 times. So we're talking about an
5 order of magnitude increase for any of these low -- the low,
6 the reference or the high scenarios.

7 So we should really be thinking of them not
8 necessarily as low, reference and high, but as higher, a bit
9 higher and a bit higher than that. They all have some
10 influence on the thermal loading or certainly on the site,
11 rather.

12 [Slide.]

13 DR. KESSLER: So if we're going to disturb the
14 site, and that's a given and I think we should all start
15 from that, we know we're going to disturb any geologic site
16 we come to, what should be our decisions then. Now, I put
17 these comments together before I went to the ANS session and
18 listened for two days and I was rather concerned that DOE
19 had made the decision to go low and stay low compared to
20 what was in the SCP.

21 I think that some of my concerns are still pretty
22 valid after listening to three days of discussions. I
23 realized that what they're talking about is a program
24 approach and not a final decision on site loading. But my
25 concern about corporate memory with DOE is such that if they

1 make this early decision to start low, they need to leave
2 themselves some breathing room. So I'd like to talk about
3 their reduction in the thermal loading from what they had in
4 the SCP and a few concerns that gives me.

5 [Slide.]

6 DR. KESSLER: We think that the uncertainty about
7 the effect of thermally driven processes is certainly the
8 focus of significant DOE and NRC time and effort, as we have
9 heard. We're also, though, creating an assumption that
10 lowering the thermal loading will automatically reduce
11 uncertainty and, therefore, ease the licensing process.

12 EPRI is concerned that this assumption hasn't been
13 adequately tested. There's just this gut feeling it will
14 ease the licensing process, but how do we know that that's
15 really it. If that's driving DOE's whole approach to how
16 they're going to enter into licensing and what way they
17 decide to run the program, we need to make sure that this
18 major assumption is true.

19 So a decision to lower the thermal loading may be
20 a strategy with little positive benefit if it doesn't really
21 ease the licensing process, but it also may significantly
22 reduce system flexibility.

23 [Slide.]

24 DR. KESSLER: So can DOE demonstrate and
25 ultimately NRC agree that a low thermal loading or a lower

1 thermal loading will really reduce uncertainty? Well, the
2 issues. Are there a number of thermal mechanisms reduced?
3 Well, we've heard not much. Active boiling may be gone if
4 the maximum temperature is below about 96. Is active
5 boiling really a concern at any thermal loading? We've
6 heard a little bit that it is, but I'm not totally
7 convinced.

8 What mechanisms does it have that aren't generic
9 to vaporization? We really only heard one. Personally, I
10 think there is nothing magical about 96. We keep hearing
11 about worrying about going above or below boiling. To me,
12 you just have a steady change in the effect and the input of
13 processes. This arbitrary mind game of 96 I think is just
14 that. We need to get over that.

15 So for a repository in the unsaturated zone, is
16 staying below boiling really important or does it just sound
17 good? Others remain, that is other mechanisms remain,
18 although their magnitudes, admittedly, are going to be
19 lower. Vaporization and condensation, vapor and condensate
20 transport, all the ones we've heard, thermomechanical
21 stresses, geochemical alteration.

22 [Slide.]

23 DR. KESSLER: So if all of these thermally-
24 generated mechanisms can't be eliminated, how is modeling
25 going to be any easier? NRC, in Mal Knapp's TRB

1 presentation to this panel in July, said that his experts
2 said that modeling would be easier. It would be nice if the
3 basis for that claim was documented. I think that would
4 help the program a lot if we understood very clearly why NRC
5 thought that.

6 The dimensions of the thermally-altered zone may
7 be reduced. So, yes, this could potentially lead to a more
8 manageable model if we don't have to model so much or
9 somehow it makes that modeling easier. But we don't even
10 know what the definition of a thermally-altered zone is to
11 be able to bound that problem.

12 [Slide.]

13 DR. KESSLER: Will lowering the thermal loading
14 cause a reduction of uncertainty in the long-term
15 hydrothermal behavior? Well, perhaps, if it could be
16 demonstrated that this approach eliminates the need to
17 evaluate rather complicated coupled processes. Some
18 examples might be this existence of a condensation cap.
19 Yes, you might be able to get rid of some of that. I would
20 argue you'll still have a condensation cap even if you're
21 below boiling in some cases.

22 The way the cap operates will certainly be
23 different, but it's still there. You still have to worry
24 about it. The dry-out zone causing flow and diversion or
25 shedding is certainly something that might go away. No

1 thermally-driven flow in the saturated zone is another
2 possibility of something that might be reduced, but I really
3 haven't heard much about DOE not worrying about it if we go
4 to a low thermal loading.

5 I keep hearing they're going to keep worrying
6 about everything no matter what thermal loading they choose
7 at this point. Therefore, EPRI is skeptical, without some
8 demonstration by both DOE and NRC, that really lowering the
9 thermal loading will ease the licensing path. So I'm not
10 sure what we're gaining here by considering going to a lower
11 thermal loading.

12 [Slide.]

13 DR. KESSLER: Selection of a lower thermal loading
14 may have -- probably will have a negative effect on the
15 current MPC design. We've already heard, I believe, Steve
16 Saterlie and Buz Gibson describe that impact. The current
17 MPC designs at the worst will require an abandonment due to
18 the relatively high thermal output or at the least it will
19 disrupt repository system planning regarding their use by
20 requiring much longer surface storage prior to disposal.

21 In either case, we have this definitive negative
22 impact by going to this lower thermal loading. As we also
23 heard, it also calls into question the ability to meet the
24 70,000 metric ton equivalent maximum inventory since more
25 storage area will be required. That opens up a whole can of

worms that I don't even want to think about at this point.

1 [Slide.]

2 DR. KESSLER: We've also heard -- I think it was
3 in the ANS session on Wednesday. Dave Stahl said that,
4 well, if -- there was some discussion that we've heard here
5 also about that when you look at the PAs, comparing
6 different thermal loadings out in the longer timeframes, the
7 difference between any initial thermal loading disappears.
8 So then the question is, well, if that can't sort out what
9 thermal loading you would choose, what are you left with.

10 Well, you may be left with the substantially
11 complete containment requirement that's at about a thousand
12 years. The question was asked, well, can DOE demonstrate
13 substantially complete containment easier for high,
14 reference or low thermal loading and Dave Stahl said, well,
15 from a materials standpoint, the only thing that we think we
16 could demonstrate by 1998 is the high thermal loading; that
17 microbial-induced corrosion is an issue for the lower ones
18 that we really don't feel we could nail down in that
19 timeframe.

20 So that would argue high. I'm not saying I'm
21 arguing high, that that's the way to go. I'm just saying
22 that the emphasis on low and the idea that that may be the
23 easier licensing path is not something I agree with, at
24 least not today.
25

1 So as of today, reducing the thermal loading at
2 Yucca Mountain may not significantly ease the licensing
3 process, but it will certainly have a negative effect on MPC
4 strategy and the repository area required. Therefore, an
5 early decision to drastically lower the thermal loading is
6 premature.

7 A couple other issues that I'd like to talk about.

8 Again, the idea that one of the things we haven't heard
9 much about is what if EPA comes out with a dose-based
10 criterion that has no upper time limit and DOE, in their PA
11 calcs, and EPRI has also shown that that thermal loading
12 issue really starts to disappear. Again, what we may be
13 left with to sort out what we need for at least a container
14 design is a substantially complete containment.

15 So if we're going to a dose-based standard -- now,
16 all of these containers we've looked at at all of the
17 thermal loadings are eventually going to fail and it's
18 unlikely that we can even determine whether different
19 thermal loadings will cause differences in either the number
20 of containers that are ultimately leached of their contents
21 or the rate that this happens.

22 So I bring this up as a point as to where does DOE
23 need to be making its emphasis if that reg should be
24 changing. I don't know whether DOE has any plans or is
25 currently thinking about how they might want to change their

1 program if there is that kind of a change in reg.

2 I think that's about all I want to say in my ten
3 minutes here today. Questions?

4 DR. LANGMUIR: Thank you, John. Any questions?
5 By the way, we're going to be convening the roundtable
6 shortly and several things that John brought up are
7 appropriate issues for the roundtable to address. So we
8 could wait till then or if you have some pressing questions
9 right now, please feel free. Bill Barnard.

10 DR. BARNARD: John, this is sort of a point of
11 order more than anything else. You work for the Electric
12 Power Research Institute.

13 DR. KESSLER: Right.

14 DR. BARNARD: That does research for various
15 electric utilities and groups of utilities.

16 DR. KESSLER: Right.

17 DR. BARNARD: Are you representing a utility
18 viewpoint, nuclear utility viewpoint, or is this your own
19 viewpoint or is this sort of an EPRI institutional viewpoint
20 or what?

21 DR. KESSLER: Yes.

22 DR. BARNARD: I appreciate the clarification.

23 DR. KESSLER: We are funded exclusively by
24 electric utilities to conduct research on their behalf.
25 We're not funded by all of them. Certainly, you won't get

1 all of the electric utilities to agree on some of these
2 issues. But I think you would get all of the electric
3 utilities to agree that they want their money spent wisely.

4 They'd like their fuel taken care of in a rather quick
5 fashion.

6 We view that some of the approaches that DOE is
7 taking would not cause that to occur. So I think in that
8 sense, I'm very safe in speaking for all utilities.

9 DR. LANGMUIR: Any more questions?

10 [No response.]

11 DR. LANGMUIR: The agenda shows a slot here for
12 the perspective from an affected local unit of government.
13 No one had spoken to me before the meeting or this morning
14 about that. But would someone like to make such a
15 presentation?

16 [No response.]

17 DR. LANGMUIR: If not, let's take our break and
18 reconvene for the roundtable at 2:50, if you would.

19 [Recess.]

20 DR. LANGMUIR: Please take your seats. Those who
21 are scheduled to be at the roundtable please come in and
22 take your seats. Please be seated and let's start.

23 ROUNDTABLE DISCUSSION

24 DR. LANGMUIR: Before we begin general discussion,
25 Ardyth Simmons would like to make a point of clarification

1 with regard to the testing that she presented to us earlier
2 today.

3 DR. SIMMONS: Is that the point that we were just
4 talking about?

5 DR. LANGMUIR: I don't know. I was told you had
6 something to say.

7 DR. SIMMONS: Well, there may be several things.
8 I wasn't sure which one was being referred to. The question
9 came up earlier as to when the effort that Bill Boyle was
10 discussing as far as evaluating the planned ESF tests and
11 looking at their potential consolidation and meeting
12 information needs and so forth, when all of that would be
13 completed and how that would relate to the review effort
14 that I was referring to in my presentation that had to do
15 with the thermohydrologic modeling and testing.

16 Bill pointed out that the review effort that he is
17 going to be looking at will end in calendar year '94. So
18 that's a very short-term effort, like six weeks. The effort
19 that I'm looking at, at least the internal part of it where
20 we write this white paper and we assemble all the
21 information that's been done on thermal hydrologic testing
22 and modeling and the plans for the future, that we hope to
23 have finished by January '95.

24 But there are two somewhat different efforts.
25 It's very clear that they must be coordinated. But he's

1 looking at a bigger effort with all of the ESF tests, not
2 just the ones that have thermal conditions associated with
3 them.

4 So the plan that Bill and I have is to maintain
5 close communication, especially -- our offices are just two
6 doors away and a lot of the same PIs would be involved in
7 both efforts, and we'll make sure that we have the same
8 information used for the review effort that he's doing and
9 the one that I'm doing. They're not duplicative, but the
10 information on the thermal hydrologic models will certainly
11 be of assistance, I think, to Bill and his group in taking a
12 look at the configuration and the test design for those
13 tests which are part of his overall review.

14 Maybe you want to add to that, I don't know, Bill.

15 MR. BOYLE: Not much, other than to state that it
16 really will pretty much be the test with the heat for the
17 time being in the sense that if you look at the deferred and
18 non-deferred alcoves, the only other tests that are
19 currently planned, other than the heater tests, are the non-
20 deferred alcoves. Those are the tests of the USGS in terms
21 of hydrochemistry and radial bore hole tests. And I think
22 they will continue to be in the schedule.

23 DR. LANGMUIR: Let me shift gears here, if I may,
24 unless there is more to pursue on that. Todd Rasmussen has
25 offered to give us a little presentation on the Apache Leap

1 site and I think we'd all like to see that. This is another
2 situation with tuff, unsaturated materials, which hopefully
3 will provide some insights for us with regard to Yucca
4 Mountain. Todd Rasmussen.

5 [Slide.]

6 DR. RASMUSSEN: This type of meeting is new to me.
7 I'm usually more comfortable in the technical environment.
8 But I think some of the field data might be of some
9 relevance to this problem. What we had was tuff heater
10 experiments. It was part of an INTRAVAL validation program.

11 INTRAVAL is an international program. A number of
12 countries are involved in this. We're testing geosphere
13 transport codes related to field data experiments.

14 We're trying to build confidence in field data
15 sets and the ability to collect the data, as well as to
16 interpret the data.

17 [Slide.]

18 DR. RASMUSSEN: So we had a number of different
19 experiments that we looked at from both the data collection,
20 monitoring and interpretation. We had a core scale heater
21 experiment in unfractured, variably saturated. It was a
22 coupled thermal/hydrologic/geochemical or chemical
23 experiment where we demonstrated a significant heat pipe for
24 that reflux, and that was over a range of 15 degrees to 45
25 degrees.

1 The point is that you don't need boiling
2 conditions to get some of this and as somebody pointed out
3 earlier, it's hot, hotter and a little more hotter. What
4 was intriguing was the coupling was solutes in the sense
5 that if you had a hot end of the core and a cold end, if
6 there were no solutes in the system, the hot end dried out
7 and the cold end got wetter and you had a boiling phase or a
8 vaporization.

9 I don't know where boiling comes from. I think
10 it's just vaporization at this end and condensation at the
11 cold end. But you would essentially knock off most of that
12 refluxing by just incorporation of solutes. We would see a
13 significant increase in solutes at the vaporizing front.
14 That would lower the vapor pressure and you would change
15 that whole environment. So there is coupling here that you
16 really do need to consider in any of this reflux.

17 That was modeled successfully. We have a field
18 scale experiment where -- well, several versions of this,
19 actually. We have one in fractured, variably saturated.
20 That was a coupled thermal hydrologic and a heterogeneous
21 material. We learn some thing every time we do this.

22 One of the interesting things is near the heater
23 bore hole, we had an extent of empty bore hole and we had
24 water, free water accumulate in that monitoring bore hole.
25 So the point of this is that if you have any kind of void at

1 all where you have a thermal gradient down the void, you're
2 going to collect tremendous amounts of water at the end of
3 that bore hole.

4 One of the big things we noticed was that
5 instrumentation was extremely difficult to maintain under
6 these kinds of environments. The corrosion, the thermal
7 perturbations means that even with triplicate emplacement of
8 sensors, that you ended up losing most of them. It's a
9 rough environment to monitor.

10 Also, on the field scale, we had modeling by
11 Charlie Voss up at Golder who showed that for a range of
12 conditions, we could get anoxic conditions. The oxygen
13 would be driven off by the vigorous vaporization of water
14 that would force the air out away from it. So we would end
15 up in low permeability zones. We were getting -- showing
16 that anoxic conditions could be maintained at least
17 temporarily. That was due to the increased total pressure
18 driving out air and replacing it with pure water vapor.

19 The other thing we noticed was the dynamic changes
20 in thermal mechanical properties. We had fractures that
21 would open and close. That was generally consistent with
22 what they found at the Climax mine. I think Dale Wilder
23 mentioned that earlier.

24 And the implications, maybe just quickly, on waste
25 management are that if you have two canisters and you put

1 the coldest one in first, that's the oldest fuel first, then
2 if you were to come in later and put hot fuel next to it,
3 you would be driving a lot of the vapor and the cooler fuel
4 cell would end up being a cooler site. And so you may
5 actually increase tremendously the amount of condensation on
6 your older fuel.

7 It may be better to reverse that and put your
8 hottest fuel in first, drive out the water vapor, bring the
9 cooler fuel in later. I think there is some scenario
10 analysis that ought to be at least examined for fuel
11 management in terms of opportunities for getting different
12 results from this system that you wanted.

13 [Slide.]

14 DR. RASMUSSEN: There are just a couple of
15 findings I just wanted to summarize very quickly. These are
16 lessons learned, let's put it that way. Currently our field
17 data collection focuses -- these are the kinds of things we
18 can measure in the field. We can measure temperature, gas
19 composition, the forces, the rock mechanical forces,
20 displacements, maybe a few other minor things. But we need
21 to interpret these data. We really don't have direct
22 measurements, able to measure or monitor hydrologic or
23 geochemical processes.

24 You'll notice that the things we can measure don't
25 include any hydrologic variables. Unsaturated and --

1 fractured and unsaturated -- I have to qualify this by
2 saying that that's in fractured unsaturated heated geologic
3 media.

4 [Slide.]

5 DR. RASMUSSEN: To make a point here, it could be
6 that there are some extremely high tech prototype tools that
7 might be able to get around this on the edges, but we cannot
8 measure content. We can measure water potential. We cannot
9 measure water chemistry, water fluxes and fractures. That's
10 just not possible at this time.

11 We cannot measure water content, water potential,
12 water chemistry or water fluxes in unfractured rock at
13 elevated temperatures at this time. We can't measure any of
14 the variables we'd like to put in our models. We measure
15 temperature and from that temperature we try and infer what
16 the water content distribution is.

17 We're measuring the surrogate variables and then
18 we're relying on models to tell us what our other primary
19 variables are. So one of the limitations we found early on
20 is just monitorability. We cannot measure water chemistry
21 in situ in fractured unsaturated media.

22 The bottom line of all of this is that it is very
23 hard very early on. We need to develop tools that allow us
24 to obtain the information that we needed for performance
25 assessment. They do not currently exist for anticipated

conditions.

1 So I would say it's strongly driven by the need to
2 develop tools.

3 [Slide.]

4 DR. RASMUSSEN: I borrowed this overhead of the
5 proposed ESF facility and they have a number of, I guess,
6 geochemical and moisture sensors. I'm real curious about
7 the neutron logging. We found it wasn't possible at
8 elevated temperatures. Temperature is your best data.
9 There are some -- I guess these are the nuts and bolts that
10 I'd really be interested in. What are the uncertainties in
11 these new prototype development tools? We talk about
12 modeling uncertainties.

13 DR. PREUSS: What is a geochemishial?

14 DR. RASMUSSEN: That's probably why he didn't show
15 it.

16 DR. LANGMUIR: Blame the DOE for that.

17 DR. RASMUSSEN: This is not mine. I mean,
18 geomechanical we can handle, temperature we can handle, but
19 all the hydrologic, there's tremendous uncertainties in
20 calibrating and just maintaining that type of equipment.

21 [Slide.]

22 DR. RASMUSSEN: Just very quickly, my last slide
23 is on a second major finding we found is that air moving
24 through the system had a profound effect on the whole
25

1 process. If we were to be able to control the ventilation
2 of the repository, we would -- and our objective, say, was
3 to maximize the dry zone by increasing advective gas flux
4 out of it, Ed Weeks at Yucca Mountain had shown that just
5 breathing bore holes could dominate the natural hydrologic
6 environment.

7 Essentially, those breathing bore holes allowed
8 vapor to be advected out of the mountain. If you were to
9 engineer the ventilation system to remove all of the water
10 vapor that's liberated due to the latent heat changes, you
11 would never have refluxing. You would never have weeps, you
12 would never have seeps.

13 If you can remove that, and I would argue it's
14 fairly straightforward to remove most of the water vapor
15 from the repository horizon just through ventilation, you've
16 lost the hydrology problem. The hydrology problem has gone
17 away. You may still have rock mechanical problems, thermal
18 transport, but I would argue ventilation can be used,
19 extended ventilation can be used to remove heat, as well.

20 The one problem is that our models won't let us
21 predict this. The fracture transport, the porous media
22 models, aren't going to work if you're going to be looking
23 at ventilation through dual porosity materials. We need
24 better fracture -- you just -- porous media models don't
25 work for that.

1 So we need to get away from models that ignore
2 fracture flow mechanics. And as I said, the reflux and re-
3 wetting problems would be -- could be minimized or mitigated
4 by extended ventilation of the process.

5 In terms of the bottom line for thermal
6 management, I think that we can't collect the data you need
7 to answer that question, but there are other ways we might
8 be able to do an end run around it so we don't need to
9 collect that data, if we can manage the water in other ways,
10 other than -- I think going in and trying to live with the
11 system the way it is, I would suggest that there's a better
12 way of doing that.

13 DR. LANGMUIR: It sounds to me like we have lots
14 of issues to comment on and discuss here. I'd love to hear
15 from the DOE folks, maybe Bill Halsey perhaps or Karsten
16 Preuss. What do you think of the problems, for examples,
17 the problems -- are you aware -- I'm sure you are, Karsten,
18 and maybe you are, Bill, of the INTRAVAL program, for one.

19 I mean, how much interplay do we have of this sort
20 of science internationally? I know DOE goes to these
21 meetings. I'm not aware that this feeds back into the
22 design of the test work that DOE is into now. I presume it
23 does. That's one issue.

24 Another is the measurability of things in these in
25 situ tests. We could go on from there, but that's a start

perhaps for whoever wishes to respond.

1 DR. PREUSS: Karsten Preuss. Just a brief
2 response. We are involved in various international
3 cooperation agreements with Switzerland, Sweden, Canada, who
4 have provided us a timely access to the subsurface, and
5 there is very intense development of instrumentation that is
6 going on and we're participating.

7 I think I agree with Todd that we have a way to
8 go, but I think that this development is also proceeding
9 quite rapidly.

10 DR. CORDING: That is in regard to the instrument
11 development.

12 DR. PREUSS: Yes.

13 DR. LANGMUIR: Where do you stand currently with
14 the planned instrumentation, for example, in the in situ ESF
15 tests, Bill? Do you need to do some of the things that Todd
16 said he couldn't do or will you be able to?

17 DR. HALSEY: I loaned him the viewgraph that Dale
18 didn't have time to speak to. I believe it's in his
19 package. I agree in part that some of these measurements
20 are difficult and that the instrumentation is still
21 evolving. But many of those measurements can be made, have
22 been made. Some of them are made partially by indirect
23 methods of humidity measurements, saturation measurements.

24 We can do neutron measurements at fairly extreme
25

1 conditions, things like that. There are complex -- it does
2 get more difficult. For example, at G-tunnel, we tried out
3 some of those instrumentation techniques and some of them
4 worked and some of them worked for a while and then failed.

5 We learned from that.

6 So, yes, it's an issue, but I don't believe that
7 it's quite as bleak as was indicated. In terms of the
8 modeling, I agree. We are trying to develop models that
9 deal with focused flow, where we have issues that are
10 dominated by focused flow, and use equivalent continuum
11 models where the processes can be adequately represented.

12 Going between those is a difficult and evolving
13 process. I think that some of the previous presentations to
14 the Board on some of the model development have indicated
15 some of those evolving processes.

16 DR. LANGMUIR: Ardyth?

17 DR. SIMMONS: I'd like to add just briefly to
18 that. One of the major objectives of the large block test
19 that we're conducting at Fran Ridge is to do the instrument
20 calibration and testing that we would be using in the in
21 situ tests underground. We expect that we will learn a lot
22 along the way.

23 We'll probably have some surprises, but the
24 instrument testing for that large block test is being
25 conducted this year. We have instruments designed that will

1 go into that. I think it's our anticipation that we will be
2 able to obtain that data.

3 Perhaps Tom Buscheck could talk specifically about
4 the various kinds of instruments. But I know, for example,
5 with regard to geochemistry, we were going to use something
6 called a SEAMIST system. There are various different kinds
7 of instruments available. It's a challenge, no doubt, but
8 we think that in time we'll be able to get there.

9 DR. BUSCHECK: May I make one short comment?

10 DR. LANGMUIR: Yes. Short comment?

11 DR. BUSCHECK: Tom Buscheck, Lawrence Livermore.
12 I don't want to give the details because Wunan Lin would do
13 a very fine job of that and I don't -- but I just wanted to
14 mention one thing. Karsten mentioned opportunities in the
15 international program.

16 At Lawrence Livermore, we have an underground
17 program, called the dynamic stripping project, which uses
18 steam injection and Joule heating to extract non-aqueous
19 phase liquids from the unsaturated zone and the saturated
20 zone.

21 So people like Abe Ramirez and Bill Daily who have
22 worked on the G-tunnel heater tests have been working very
23 -- have been very active in that project. And even though
24 they've been -- you haven't heard their names in recent
25 years, they've been improving their instrumentation, ERT and

1 other things, for monitoring displacement of these fronts at
2 Livermore for the past several years.

3 DR. LANGMUIR: Thank you. Let me shift gears a
4 little bit. Todd Rasmussen suggested something else which
5 some of the heads went yes and some went no on his comment.

6 I'd like to hear how we all feel about ventilation to avoid
7 refluxion as a possible route to preventing refluxion.

8 My sense is that it's going to limit refluxion to
9 some degree in the vicinity of the ESF, but that you're
10 going to have a lot of water escaping ESF that's already up
11 in the rock above in the ESF in the heating process. But
12 I'd like to hear someone who is more into the modeling and
13 the quantitative analysis of that. Maybe it's Tom Buscheck,
14 maybe it's someone else. Bill?

15 DR. HALSEY: Just in putting together things that
16 were presented by several speakers during the meeting, the
17 amount of dry-out from the rock matrix into the drifts
18 during the operational timeframe is still an unknown. It
19 has to do with the vapor diffusion coefficients and the
20 fracture network, how communicative it is with the matrix
21 for gas phase.

22 I believe -- I don't remember who showed it, but
23 just over a range of possible parameters for some of the
24 controlling processes, during the operational timeframe you
25 may get very deep penetration of dry-out into the rock

1 matrix or very shallow, and those are some of the things we
2 want to measure. So it's still an unknown.

3 It was also pointed out that you can remove, in
4 principal, quite a bit of water and perhaps, more
5 importantly, by the latent heat, remove an awful lot of
6 thermal energy with the ventilation.

7 The final part of that -- this still may not
8 preclude refluxing because the water which is originally in
9 the pores of the rock matrix is only one contributor to the
10 mobile water in the repository. Some of it is water
11 hydration in the minerals. Some of it, of course, is
12 infiltration from the surface, meteoric sources, and some of
13 it is thermally mobilized water from the water table.

14 Your timeframe of operation will not allow you to
15 remove those waters. They'll come and get you later.

16 DR. LANGMUIR: There was a point made by two
17 speakers, one was Steve Frishman and one was John Kessler,
18 which had to do with a concern about what MPC design might
19 do to our options in thermal loading. I wonder if Steve
20 Brocoum could comment on that.

21 The argument was that this would preclude perhaps
22 the low temperature option if we went to the MPC as
23 currently conceived.

24 DR. BROCOUM: I think where we are aware certainly
25 with the large MPC that it may constrain us. I think we're

1 looking at that in-house. I don't really have anything more
2 to say. That's an evolving issue. We have a series of
3 issues like that that we're concerned about that and the
4 ability to interface between the MPC and the repository is a
5 key one and we're working more than ever.

6 One of the things I failed to say in my closing
7 statement. The M&O has this whole team that cuts across all
8 different parts of the program working these issues. I
9 don't know if anybody else wants to add anything to that,
10 but I can't give you any definitive answer at this point.

11 DR. RICKERTSEN: Can I just add one thing? Larry
12 Rickertsen from the M&O. The point that you made about the
13 fact that things might be jeopardized is on the basis that
14 the goals might change. That was the essence of it. But I
15 would just say that the limits for the design specifications
16 for the MPC so far, even for the large MPC, are based on the
17 full range of areal mass loadings that we're presently
18 considering, including the lowest. So, in fact, that's the
19 most constraining one.

20 If you were looking at the higher loadings, the
21 loading limit to the MPC would be much higher. You could
22 allow a higher loading for that. So that 14.2 kilowatts
23 corresponds to the lowest loading, given the set of goals
24 that we now have. If those goals change, that might change.

25 DR. LANGMUIR: John Kessler.

1 DR. KESSLER: For the lowest thermal loading
2 locally, you're going to find something. I believe I saw it
3 presented that you're going to go over this magic boiling
4 number. Maybe not repository-wide on an average for the
5 lowest thermal loadings, but somewhere near the canister
6 you're going to go over this arbitrary boiling criterion,
7 and that this was some sort of a reaction to try -- you
8 know, if the goal is everywhere to keep boiling away, then
9 what I heard, maybe wrong, was that the lowest thermal
10 option doesn't allow the use of the MPC with its thermal
11 output to be used if you want to avoid boiling everywhere.

12 DR. RICKERTSEN: The option, the lowest loading
13 option is not quite the same as a no boiling option. We
14 don't know exactly what the lowest loading is going to do
15 for us yet. That's part of why you're going to do the
16 testing. We think it will correspond to the lowest
17 disturbance, certainly, but we don't know what that low
18 disturbance is yet.

19 That distinction that was made in that strategy of
20 talking about low loading wasn't just an accident. We
21 didn't mean to say minimal disturbance. We meant to say
22 it's the low loading. As we investigate that, we will find
23 out what the conditions are. We'll find out what the degree
24 of disturbance is and whether that's -- and do some
25 evaluations to find out how acceptable that is or not.

1 The point was that at the low loading case, on the
2 order of 20 mtu per acre, on the order of 25 kilowatts per
3 acre, those goals of 350 degrees C and 200 degrees C would
4 be met. Those are the only goals we have so far for the
5 lowest one. We weren't looking at the highest one to
6 constrain us. That was the point I was trying to make here.

7 In the picture that we have, the MPC is certainly
8 consistent with the goals that have been established so far.

9 If those goals change, we might have to consider it. So
10 your point is quite valid. But the point I want to make so
11 far is that on the basis of where we're going, the MPC is
12 consistent so far with the low loadings.

13 DR. LANGMUIR: In a related vein, I guess I'd like
14 some comments from geochemists and hydrologists in the room
15 as to the -- and those who work in performance assessment
16 who have to take their subsystem models into play, what do
17 you think about the uncertainties and the magnitude of the
18 uncertainties that affect your ability to predict long-term
19 performance, looking at the low versus the higher thermal
20 loading options?

21 I have my own opinions on that one, but I'd be
22 curious what some others might think of that. Bill?

23 DR. HALSEY: Yesterday Steve Brocoum asked if
24 anyone wanted to argue that the uncertainties were indeed
25 lower at the higher thermal loading regime and Dave Stahl

1 commented from the point of view of the EBS. Most of my
2 work has been focused on the EBS in the near field
3 environment and I would say in response, Steve, that for the
4 EBS in the near field, the higher thermal loading regime
5 looks easier to demonstrate and is a better performer for
6 the limited timeframe that we have subsystem requirements.

7 Conversely, I agree with the broader opinion that
8 that probably is not true for the system as a whole, for the
9 farther field coupled processes, the unsaturated zone and
10 saturated zone processes. There's probably more that occurs
11 with less certainty in the timeframe that we're asking to
12 demonstrate it at the higher thermal loadings.

13 So it depends. If you're asking me about the near
14 field, I think that the uncertainties can be reduced at the
15 higher thermal load because you're driving to fairly simple
16 processes. But for the global system, I think that the
17 lower thermal loading probably does have globally the lower
18 uncertainties.

19 DR. BROCOUM: I know you guys keep a detailed
20 record, but I think my question yesterday was where can we
21 get the information fastest to make our case to prepare --
22 to make a suitability decision and a license application,
23 not which is the best technical case. So I was asking a
24 different question than you answered.

25 DR. HALSEY: Actually, I think it's the same

1 answer. We can get the information for the near field
2 faster for the high, but I don't believe we can get the
3 information faster for the entire system. I think that's
4 what you were really asking. So I concur with you there.

5 DR. LANGMUIR: I'm moving my questions around a
6 little bit in terms of subject matter, but Steve Brocoum
7 used the key word "suitability" again. So it reminded me of
8 another question I wanted to ask him.

9 All of us on the Board have been wondering and
10 concerned as to how a decision of suitability in '98 really
11 differs in substance from a decision to license in 2001.
12 What do you have to know that differs?

13 My personal sense is you've got to know the same
14 things. If it's suitable, it's licensable. If it isn't
15 suitable, it's not licensable. But I'd like to know what
16 your thinking is on this. I know that the DOE -- you
17 haven't promulgated in writing at least the differences in
18 those definitions that we've seen yet. What is your current
19 thinking?

20 DR. BROCOUM: A lot of people have asked that
21 question. It's a difficult question and it's also a
22 philosophical question. But, fundamentally, suitability
23 focuses on the site and, of course, focusing on a DOE
24 decision. Licensing focuses on the ability to license a
25 whole system, having a fairly well designed well advanced

1 design in certain waste packages, at least we're laying out
2 our strategy.

3 So that's the fundamental difference. We're
4 trying to see at the suitability decision can we -- is there
5 anything at the site that precludes us from designing a
6 repository that will fit that site. That's one way of
7 looking at it.

8 Are we in some way constricted? Is there a fatal
9 flaw, if one can define a fatal flaw? So it's really
10 focusing on the site. For licensing, you're focusing on the
11 whole system.

12 DR. LANGMUIR: Does anybody else want to pursue
13 that or is it all crystal clear?

14 DR. DOMENICO: Crystal.

15 DR. LANGMUIR: Any questions from anyone else but
16 me? Leon Reiter of the staff.

17 DR. REITER: I just want to pursue that a little
18 bit. Steve, could you focus in one -- I think I asked you
19 before -- on thermal loading, what kind of statement are you
20 going to make in 1998 as to thermal loading as compared to
21 the 2001? The reason for the confusion is that on some of
22 the charts, we see 1998 is concepts and 2001 bounding. And
23 then I may have been mistaken, but I think in your
24 presentation you said that by both 1998 and 2001, you're
25 going to go with the low thermal loading option. Maybe you

can clarify that.

1
2 DR. BROCOUM: We'll be collecting a lot of
3 information. We're obviously going to have more information
4 in 2000 or 2001 than we're going to have in 1998. A lot of
5 thermal tests certainly will be just getting -- having only
6 been underway for a short period of time by 1998. So
7 obviously we're going to have a lot more information in
8 2001, on the one hand.

9 On the other hand, we're going to go through each
10 guideline, put the information together, get it peer
11 reviewed. Depending on what the peer review says, we may
12 make a finding. So before we make a technical site
13 suitability finding, we will have done each individual
14 guideline. We will have made a finding on each individual
15 guideline. The technical basis to back up that finding will
16 have been peer reviewed.

17 So it's not an issue of -- I mean, you can ask the
18 question what will we have in thermal and the scientific
19 people can tell you what exact information we'll have. It's
20 an issue of based on all the information we have available,
21 do we feel we could make a finding on a particular guideline
22 or in some -- all the guidelines put together in such a way
23 that we feel we could make a higher level positive finding
24 in terms of finding the site to be suitable.

25 DR. LANGMUIR: Pat Domenico.

1 DR. DOMENICO: Steve, I'm not that familiar with
2 the findings, but are there any findings that deal directly
3 or indirectly with a thermal hydrology?

4 DR. BROCOUM: There are hydrological findings.

5 DR. DOMENICO: I know hydrological.

6 DR. BROCOUM: And I think you have to accommodate
7 -- you may have to accommodate in making that finding
8 thermal considerations. I don't think there's any guideline
9 that addresses specifically a thermal consideration.

10 DR. DOMENICO: So you mean you could find a site
11 suitable independent of a loading strategy.

12 MR. BOYLE: No. There's a finding on the pre-
13 closure rock characteristics that takes you through the end
14 of the operations period and we have to take into account
15 what the effects of the heat will be, at least for pre-
16 closure rock characteristics.

17 As far as geohydrology goes, I'm not as familiar.
18 Ardyth might speak to that.

19 DR. DOMENICO: By rock characteristics, you now
20 mean mechanical, thermal mechanical.

21 MR. BOYLE: Yes. But I'd like to make a point
22 that I meant to make earlier. In many respects, I think
23 it's a mistake to divide things in terms of thermal
24 hydrologic, thermal mechanical. All the mechanical
25 properties that we're interested in in terms of strength and

1 deformation are functions of the water that's present, the
2 saturation levels, sheer strength on a joint, if there is
3 water present, what is the pore pressure.

4 And it's the same for thermal hydrologic,
5 particularly in the near field. If you heat up the rock and
6 the joints open or close or whatever, it might affect -- it
7 will affect any fluids flowing through that joint.

8 So when we look at pre-closure rock
9 characteristics, to the extent that we have to incorporate
10 what the water is doing, we will.

11 DR. DOMENICO: Well, the distinction between
12 thermal mechanical and thermal hydrologic is yours, not
13 ours. That was in your slides. But I think that the
14 thermal mechanical are a bit easier, myself. But my
15 question is this. You can find a -- come to a suitability
16 analysis independent of any thermal load you might impose on
17 the system or you can't?

18 DR. BROCOUM: I'm not sure what your question is.

19 DR. DOMENICO: You can come or maybe you cannot
20 come to a site suitability analysis independent of either a
21 high loading or low loading, low temperature or high
22 temperature loading, however you want to call it. Does the
23 thermal load have to be taken into consideration in site
24 suitability?

25 DR. BROCOUM: I think you could look at the

1 knowledge you have at the range of thermal loads you're
2 considering to see if anything in that range of thermal
3 loadings would preclude you from designing a repository for
4 that site. That's a way you could approach it.

5 If you don't see anything that would preclude you
6 at that time, I think you may be able to make a finding. I
7 don't want to prejudge how these findings are going to go
8 because I don't know how they can go at this point in time.

9 DR. DOMENICO: I know something about the
10 findings, but I can't recall one that dealt directly with
11 influences like thermal loadings on the rocks.

12 DR. BROCOUM: No. Let me put the one on pre-
13 closure rock characteristics, post-closure, and is there
14 anything -- and there's nothing specifically in here about
15 -- is there?

16 DR. RICKERTSEN: Yes. The post-closure rock
17 characteristics guideline, technical guideline, asks you to
18 make your evaluation in view of the thermal stresses on the
19 rock, whatever that means. The geochemistry guideline also
20 talks about thermal interactions with the materials of the
21 waste package.

22 So there are two places that talk about it. We
23 don't know quite how we're going to handle that yet. It
24 might be in terms of a bounding analysis. It might be in
25 terms of looking at the range of possibilities for the range

1 of thermal loadings that you're considering at that site
2 suitability determination stage.

3 DR. GAMBLE: Bob Gamble, M&O. An additional point
4 of clarification for what Larry said. The post-closure rock
5 characteristics guideline does, in fact, talk about the
6 characteristics of the site and, given the rock
7 characteristics, whether or not they are capable of
8 accommodating the thermal chemical, mechanical and radiation
9 stresses that are expected due to the existence of a
10 repository of some design.

11 It also talks about the expected interactions
12 among the waste, the host rock and the groundwater and the
13 engineered components of the system. So the qualifying
14 condition of the post-closure rock characteristics guideline
15 does specifically ask the DOE to look at the interactions of
16 the various processes at the site, thermal loading being
17 --thermal effects being one of those processes.

18 DR. LANGMUIR: Leon Reiter.

19 DR. REITER: I think it would be kind of difficult
20 to meet your system guideline, post-closure system
21 guideline, and do a performance assessment without taking
22 into account thermal loading of some sort.

23 DR. BROCOUM: But if you use the advanced
24 conceptual design, which presumably will encompass the full
25 range of thermal options, wouldn't that cover or bound your

case?

1
2 DR. RICKERTSEN: That means that the site
3 suitability is going to show suitability for both low,
4 medium and high thermal loadings or some range of low. I'm
5 not quite sure.

6 DR. BROCOUM: I don't know what it will show right
7 now. I'm just kind of speculating. You gave me kind of a
8 speculative type of question. But the point we've made is
9 we will use the advanced conceptual design as a basis for
10 doing the guideline findings.

11 That advanced conceptual design encompasses the
12 range of thermal loadings you're considering, and,
13 therefore, you would be considering those. So if we follow
14 through with the flexible design, the advanced conceptual
15 design, and it encompasses that range, that would be
16 included in your analysis.

17 DR. LANGMUIR: Another disconnected question from
18 me. Srikanta Mishra presented the M&O's TSPA status at
19 present and the evolution of things since '93, the '93
20 documents. I understood there, because I've been --
21 unfortunately for me, I chose the Sandia '93 to study
22 carefully, not the M&O one. Now it's no longer part of the
23 flowchart.

24 I'd be interested to know how the parallel Sandia
25 effort has been combined with the M&O effort in a single

1 TSPA approach that's underway now and for the future at the
2 DOE. Obviously, it's a very complex undertaking, but how
3 are you bringing this all into one path.

4 DR. MISHRA: Once again, I would like to defer
5 this to Bob and, unfortunately, he's not here. He has been
6 primarily involved in the planning process of the TSPA with
7 the DOE WBS managers. My understanding is that the next
8 iteration of the full TSPA will be an M&O project and Sandia
9 National Labs will focus their TSPA efforts on developing
10 scenarios and having a scenario analysis, particularly those
11 of disruptive events.

12 So the basic TSPA will be conducted by the M&O and
13 we will try to include as much refinement as possible in
14 such areas as the waste package degradation model, the waste
15 form alteration model, and the geosphere of transport. But
16 in terms of the external features and events, those will be
17 done by the Sandia National Labs.

18 DR. LANGMUIR: What about the hydrologic flow
19 model effort? My sense was that the Sandia approach
20 involved looking at both weeps and composite porosity and
21 then I understand from you that the M&O approach has been
22 composite porosity only. What are we doing here?

23 DR. MISHRA: We have basically used an equivalent
24 continuum model. For the next iteration of the TSPA, we are
25 looking at some dual continuum kinds of representations. We

1 are also going to be working with the scientists at LBL and
2 USGS who are developing the site scale model of hydrology.
3 So we will try to link our efforts with their
4 representations of the site hydrology so that there is some
5 consistency in the hydrologic description, as well as in the
6 total system description.

7 DR. BULLEN: This is Dan Bullin from Iowa State.
8 Since we got to PA, I thought I'd throw in my two cents
9 worth. I want to reiterate the fact that as you try and
10 model waste package performance and engineered barrier
11 system failure and release of radionuclides, that you don't
12 take a too overly conservative approach. If you get too
13 overly conservative, basically by saying that everything
14 disintegrates, then you don't get the credit for being a
15 smart engineer.

16 I also would like to point out -- maybe reiterate
17 something that John Kessler said. Maybe we want to look at
18 substantially complete containment first and see if the
19 engineered barrier system helps us achieve that goal, then
20 take a look at repository performance based on transport out
21 of the near field environment, the engineered barrier
22 system, and then the long-range coupling with refluxing and
23 all of the other aspects associated with it.

24 And in doing all of those things, keep in mind the
25 impact of the thermal loading on waste package performance

1 and waste package failure, because I believe those will have
2 significant effects, particularly when you want to do the
3 evaluation of substantially complete containment and then
4 perhaps even a more significant impact as you realistically
5 model transport from a breached container, but not a
6 container which completely disappears at failure and
7 immediately dissolves all of the radionuclides into the
8 accessible environment for transport.

9 DR. LANGMUIR: Any comments?

10 DR. MISHRA: I think all of your points are very
11 well taken. As Bill Halsey pointed out yesterday, the 1993
12 TSPA was essentially the first effort at incorporating all
13 the thermal dependencies. So most of the models that we
14 have should perhaps be thought of as place holders for the
15 time being and being place holders and being the initial
16 place holders, we do have a lot of conservatism in most of
17 these.

18 But as the TSPA is matured in the iteration that
19 we are going to conduct in FY-95 and in the iteration that
20 we will conduct in FY-97 which directly flows into the
21 technical site suitability determination, we hope that most
22 of our models will be more robust, more defensible and less
23 conservative and there will be some enhanced degree of
24 realism in each of these.

25 Now, as to whether this will make any difference

1 or not in terms of the performance both with respect to the
2 substantially complete containment aspect and with the
3 controlled release from the EBS, with respect to the total
4 system performance, I don't think I know which way it will
5 go.

6 But, once again, there is an effort at making the
7 underlying models a scientifically defensible and robust as
8 possible.

9 DR. LANGMUIR: It's Friday. I didn't have any
10 more. If other people would like to bring up issues, we
11 have time. In principal, we do. The schedule suggests we
12 don't have to quit yet. If we're through here at the table,
13 though, it's appropriate for those from the audience who
14 might wish to comment or ask questions to do so, if they
15 haven't had a chance.

16 COMMENTS FROM THE AUDIENCE

17 DR. RICKERTSEN: I just had a technical question
18 on the monitoring of fluid fluxes through the experimental
19 plans. One way of monitoring fluids would be to look at how
20 much fluid is present, but actually monitoring flux rates or
21 flow rates through fractures. I'm wondering what strategies
22 are being proposed for looking at fluid velocities and
23 transport rates.

24 DR. LANGMUIR: Is anybody here aware of such work?
25 Any hydrologists?

1 DR. BUSCHECK: Karsten, do you have an idea about
2 that?

3 DR. PREUSS: I'm not a proponent of either, sorry.

4 DR. BUSCHECK: We haven't said in any of our plans
5 that we are going to be explicitly measuring rates. We will
6 be in the large block test, however, placing open bore holes
7 where we feel that refluxing is most likely to occur. We
8 were planning to -- I'm not sure if the funding is available
9 at this point -- to utilize the SEAMIST probes, which would
10 be collecting moisture in the refluxing zone and in real
11 time measuring chemistry changes.

12 I don't want to say that we have a magic way of
13 actually measuring flux. However, I think we have --
14 through the use of models, perhaps we have a way of
15 interpreting what that flux may have been to give us the
16 thermal hydrological conditions. I think that's the best we
17 have right now in terms of trying to understand the details
18 of what's happening in the fracture.

19 DR. DOMENICO: I think in the ESF they've planned
20 some conservative tracer tests in a few of the fractures. I
21 believe that's part of the plan in the ESF. Conservative
22 tracer tests.

23 DR. LANGMUIR: In fact, I worked on that. I had
24 forgotten. I worked on that for a number of years when I
25 was in this program, selecting conservative tracers to be

used in hydrologic tests. That's definitely planned.

1
2 DR. DOMENICO: Do you give that a high priority,
3 Todd?

4 DR. RASMUSSEN: Normally what happens is you have
5 such a small volume change in a fracture that you can't
6 actually monitor what the content within a fracture is.
7 What we have noticed at Apache Leap is that it migrates long
8 distances very quickly.

9 So since you can't measure whether there's water
10 in a fracture or not or how far it's moving or where it's
11 moving and it can move large distances in a short period of
12 time, I'd put a large priority on knowing that.

13 DR. DOMENICO: I thought we would know that
14 without monitoring and if you get water in a fracture, it's
15 going to move long distances in short times. I would think
16 that we would probably all agree with that.

17 DR. RASMUSSEN: But you can't predict that using
18 an equivalent porous medium.

19 DR. DOMENICO: No, no. There is no such thing as
20 fractures in equivalent porous medium.

21 DR. BLINK: This is Jim Blink from Lawrence
22 Livermore. I can think of three ways that we've been able
23 to measure fluid velocity, if not fluid volumetric flow
24 rate, at the large block site and in the laboratory. Sandia
25 has used an x-ray technique -- Bob Glass is the PI to follow

1 fluid fronts -- and in the field at the large block test, we
2 did three fluid flow experiments prior to excavating the
3 area around the block.

4 These experiments were about a three-meter-by-
5 three-meter area that was dammed and flooded with water.
6 The water was traced, as it turns out, with food coloring.
7 It seemed to satisfy the EPA real well. And then when we
8 excavated, we looked at the traces in the fractures that
9 were colored by the food coloring.

10 In addition, as it happened, we had drilled some
11 holes around and one in the middle of those blocks and put
12 electrical resistive tomography electrodes in and were able
13 to follow the fluid front as it passed through. So that
14 technique could be used to measure velocity and one could do
15 it in the field at selected areas.

16 But as far as flow rate, that's another story.

17 DR. LANGMUIR: The tracer business has become very
18 sophisticated with the use of mixing a variety of related
19 tracers, like CFCs, that are subtly different chemically.
20 So you can look at not necessarily volumes, but you can look
21 at exact proportions in mixtures from different locations
22 coming together in a fracture system using a variety of
23 traces together.

24 Any more comments or questions from the audience?

25 If not, from the table? Karsten?

1 DR. PREUSS: I'd like to repeat a little more on
2 the modeling, if I may. The thermal hydrologic test, in
3 particular, the thermal hydrologic modeling that Bill Halsey
4 showed this morning looked suspiciously like effective
5 continuum approach. As far as I'm concerned, on the scale
6 that you want to work, that's already discredited by the G-
7 tunnel experiments that showed very different behavior from
8 what effective continuum models predicted.

9 So I'm very concerned that before you do the test,
10 that models would be applied that would be as realistic as
11 they can be and explicitly represent fractures and the like.

12 Could you comment whether that's happening?

13 DR. HALSEY: Prior to having access to the rock,
14 we can't really explicitly model the fractures that might be
15 there. Certainly, the results that we were showing are
16 predictions without fracture perturbations and the true test
17 results would be different from that.

18 What we're trying to do is scope the tests to
19 compromise the scale between time and what can be measured
20 about these various processes in the hypotheses that we're
21 trying to test. We don't believe that the results will
22 exactly match the results that were modeled, but we believe
23 that equivalent continuum modeling can tell us something
24 about what size test measures the processes we're looking
25 for.

1 DR. PREUSS: Just a brief remark. I think that
2 it's vital that you model explicit fractures before you
3 actually go underground and before you know where the
4 fractures are. You do know the fractures will be there and
5 you have to develop and show a capability of modeling the
6 behavior of individual fractures, even if -- you know, prior
7 to going underground. Take the hypothetical and not the
8 actually ones that you then later map.

9 But how else would you design and how else would
10 you know what kind of a response you expect from a
11 hydrologic system and what kind of monitoring you will need
12 to pick this response up if you never model the kind of
13 realistic behavior that will be dominated by fracture flow?

14 DR. HALSEY: The fracture network is certainly
15 represented in the bulk permeabilities that were used as the
16 basis for those predictions.

17 DR. BUSCHECK: Because we're in a different time
18 zone, after every meeting, I get to call back to the office
19 and during this week, John Nitao has been making progress on
20 revisiting the G-tunnel heater tests. We had planned to do
21 that. Dwayne Chesnut has been working with him on that. We
22 have been attempting to more -- well, actually, to do a
23 discreet representation of if not the actual fracture
24 distribution, a hypothetical representation or idealization
25 of it, but representing the discreet behavior so we could

1 somehow show the fact that we did not see a condensate
2 buildup and we did, in fact, show shedding around the
3 boiling zone.

4 To say that one cannot look at the effect of
5 heterogeneity independent of having a discreet fracture
6 model is to say that we'll never be able to solve the
7 problem perhaps because in a test like this, we probably may
8 have thousands of discreet fractures. Certainly in the
9 large block we may have thousands of discreet fractures.

10 We have looked at the effect of heterogeneity in a
11 couple of different ways, one of which is through having --
12 using equivalent continuum modeling and modeling it
13 heterogeneously, and we have managed to get extremely
14 heterogeneous flow. We have published those results in the
15 last year.

16 We also have Dwayne Chesnut's model which
17 represents drainage in a log normal way distribution. So
18 there may be ways of looking at this problem statistically.

19 We may not be able to isolate exactly where this non-
20 average behavior occurs, but we may be able to get an idea
21 of what type of extreme behavior may happen about the mean,
22 which the equivalent continuum model -- I don't know if you
23 could call it exactly.

24 I mean, certainly with respect to dry-out we found
25 at G-tunnel, we got a fairly reasonable representation of

1 dry-out. So I think some of the mean behavior can be
2 represented. And other alternate means can be used in
3 conjunction with those modeling techniques to get an
4 understanding of how the actual behavior deviates from that
5 mean behavior.

6 DR. CORDING: Tom, you showed us about two years
7 ago essentially a one-dimensional model with a matrix and
8 interaction between matrix and joint flow and true joint.
9 Is that type of model one that you can apply in a more
10 complex -- in any way under more complex boundary conditions
11 you would have in a test, a thermal test?

12 DR. BUSCHECK: To use that technique explicitly to
13 model our system, the way we did for those calculations,
14 would literally require on the order of probably half-a-
15 million grid blocks. I know they're looking at this also at
16 INTERA. There have to be some sort of ways that represent
17 the imbibition behavior in the matrix blocks without
18 discretizing it explicitly as we did in those calculations.

19 Karsten, do you have a comment on that?

20 DR. CORDING: In other words, you're looking a
21 true three-dimensional -- what you would have to do if you
22 had a true three-dimensional model. There may be some other
23 ways of cutting it.

24 DR. BUSCHECK: There are two things that bulk
25 permeability distribution will do to you in terms of non-

1 uniform behavior, one of which is they cause non-uniform
2 behaviors of the gas flow. In that setting, the equivalent
3 continuum model in terms of a heterogeneous gas flow is
4 probably not as bad as it is for heterogeneous condensate
5 flow or infiltration flow.

6 So we may be able to capture some of the
7 heterogeneous behavior insofar as it plays in heterogeneous
8 vapor flow. We have made progress in that type of modeling.

9 DR. KESSLER: I just had a general comment about
10 the push to model discrete fractures. That is where are we
11 going with this. If I look at the TSPA-93 results of
12 Sandia, my gut reaction might be, gee, good, I'm glad we've
13 got flow in fractures. That means not every canister is
14 going to get wet like an equivalent continuum model. So it
15 might be a better thing.

16 But what are we going to do with the information
17 once we know discrete fractures? For instance, Karsten, I
18 know LBL was heavily involved with STRIPA. They looked at
19 all the fractures, they saw where things were going. What
20 could be done with that to make a safety case for some
21 system like STRIPA, which, other than being fully saturated,
22 might be pretty analogous to Yucca Mountain.

23 Once you've got all that information, how are you
24 going to use it to maybe bound the performance of your
25 system just because you've modeled discrete fractures?

1 DR. LANGMUIR: Let me pick up on that and expand
2 it a little bit and throw it towards Steve Brocoum. What
3 we've been hearing so far in the last couple of days is how
4 flexible the program has become and we've seen evidence of
5 that and some creative thinking about ventilation systems
6 and so on.

7 The most creative of all possibilities perhaps
8 would be to say I've got a fracture, great, it's draining
9 the water away from my repository, so don't put the fuel in
10 the fracture and I'll do it this way and as long as there's
11 enough space in the mountain for my waste packages, I can
12 accomplish it that way and minimize water coming in contact
13 with the waste by using fractures rather than worrying about
14 them in the conventional sense.

15 How flexible are we? Is that a permissible way to
16 think about it?

17 DR. KESSLER: I would just add one thing to that
18 question. Even if we're not smart enough or aren't capable
19 of knowing where all the fractures are to be able to offset
20 them from every fracture, one of the things that we may be
21 able to infer from the Sandia TSPA-93 is, okay, so a couple
22 containers get hit, a lot of them because of fracture flow
23 don't, and can we use that information.

24 DR. BROCOUM: That's an interesting question.
25 That is why it's so hard to define discreet features of a

1 site that would disqualify it. One might think a fault --
2 Ghost Dance fault through the middle of the site, the state
3 keeps bringing that up as it being a bad feature. But one
4 could conceivably think of a design of a repository that
5 would use faults or fractures to drain water away from the
6 waste packages.

7 So you can come up with a design that takes
8 advantage of the attributes, if you like, or the features of
9 the site to give you a better system. That's why a lot of
10 people have always had problems and it's very hard to list
11 down on a piece of paper what features should disqualify a
12 site, because it's very hard to do that independently of a
13 concept of the repository you're thinking about.

14 DR. SIMMONS: May I just add to that and follow
15 this on from what Steve was saying? We've been talking
16 quite a bit at this meeting about the engineered barrier
17 system, but one thing that we haven't really discussed is
18 some of the attributes of the geological system in the far
19 field that would be helpful.

20 And with regard to fracture flow, if we were able
21 to show, as we anticipate, that much of the flow will occur
22 in discreet fractures and that it may perhaps be episodic,
23 it may be possible to show that the Calico Hills even
24 beneath the repository is a very effective barrier to
25 radionuclide retardation.

1 In a scenario in which a number of discreet
2 fractures are responsible -- that are spaced at some regular
3 interval perhaps or at least that we were able to model, we
4 may be able to demonstrate the transport pathways that would
5 carry radionuclides and be then retarded in the Calico
6 Hills. So it's a matter of putting together your
7 information about the engineered barrier with the geologic
8 area.

9 DR. DOMENICO: I have a question. With regard to
10 the Fran Ridge block test, maybe somebody could tell me.
11 Certainly that block has been mapped, the fractures have
12 been mapped and apertures measured and things of that sort.
13 Is somebody going to apply Jane Long's black magic to those
14 fracture sets before and after the heating? Is that part of
15 the scheme on the calculations before and after heating?

16 DR. BUSCHECK: We've had preliminary discussions
17 with Dave Dobson at Golder Associates about the use of
18 FRACMAN to try to and -- so that is still in its early
19 stages. I discussed that with Ardyth yesterday and
20 something along those lines is going to be pursued.

21 The practical problem with this is that how we
22 represent that discreet representation. We'll probably need
23 to use something like FRACMAN to see what type -- what the
24 effects of discretization are. From a practical standpoint,
25 can we incorporate some of the realism and do something

1 that's significantly better than just assuming bulk
2 equivalent continuum properties.

3 DR. SIMMONS: That's what you were referring to by
4 Jane Long's black magic?

5 DR. DOMENICO: No. FRACMAN is different.

6 DR. SIMMONS: Okay.

7 DR. LANGMUIR: Any further questions or comments?

8 [No response.]

9 DR. LANGMUIR: Are we burned out? Bill Halsey,
10 the final word, perhaps.

11 DR. HALSEY: I was thinking about some of the
12 requirements to follow the pathway that's being laid out.
13 This developed during the ANS meeting on Wednesday and I
14 think it's even clearer now that the program approach that
15 we're following, where we're looking at each of the major
16 milestones and trying to figure out what is it that we
17 really need at that point and then move on to the next one,
18 is something a little different than what was viewed from
19 many years back in the SCP, where it laid out everything.

20 I would use the analogy that the SCP approach was
21 sort of like the yellow brick road. We were going to pave
22 it all and then we could walk along it. And now we don't
23 have the time and all the bricks. We're going to look at
24 where it is that we need to stop and we're putting down
25 milestones and we're going to hop over to that one and then

1 this one and play a little hopscotch along this pathway.

2 That's okay. That will get you there. And the
3 fact that you have to land with your left foot here and your
4 right foot there is all right, too, because the requirements
5 for the different milestones are different. The site
6 suitability is a requirement on -- is a judgment of the
7 site's ability to host a repository.

8 The initial license application is a judgment on
9 the ability of that design you are asking to start
10 construction to comply. I think that's a much more
11 efficient way of getting down the path and a quicker way.

12 I just believe that it also requires a little bit
13 more in the way of dexterity and agility. I see four
14 components -- the engineering and design components, the
15 testing, the gains, the mechanistic knowledge, the model
16 development and the performance predictions, and the
17 licensing approach and the interactions with the public and
18 the regulatory bodies that now all have to pop together.
19 They have to be in sync on this or we're going to trip
20 ourselves up.

21 I think that puts a greater burden on the systems
22 analysis that we heard discussed yesterday, on the program
23 integration. And I agree with Steve Frishman's observation
24 that that puts a greater burden on the Board because now you
25 have to understand the path that we're following rather than

1 judging whether we've built a fundamentally complete road.
2 That's just an observation.

3 DR. PALCIAUSKAS: I really like that observation
4 about hopping between these little patches on your road to
5 site suitability. We keep looking at the path and we're
6 looking for the big gap between two patches which you just
7 might not be able to clear. That's the role of the Board, I
8 guess.

9 DR. CORDING: We also need different tools. We
10 need machetes instead of trowels.

11 DR. LANGMUIR: With that, let's thank you all for
12 attending. It's been very productive. We appreciate your
13 contributions. We are adjourned.

14 [Whereupon, at 4:00 p.m., the meeting was
15 concluded.]
16
17
18
19
20
21
22
23
24
25