

UNITED STATES
NUCLEAR WASTE TECHNICAL REVIEW BOARD

HYDROGEOLOGY & GEOCHEMISTRY PANEL MEETING
GROUND WATER TRAVEL TIME (GWTT)
and
FLUID-FLOW PATHWAYS

September 12, 1994

Holiday Inn Crowne Plaza
4255 South Paradise Road
Las Vegas, Nevada 89109

BOARD MEMBERS PRESENT

Dr. John E. Cantlon, Chairman, NWTRB
Dr. Edward J. Cording
Dr. Donald Langmuir
Dr. John J. McKetta

CONSULTANT

Dr. Patrick A. Domenico

NWTRB STAFF

Dr. William Barnard, Executive Director, NWTRB
Dr. Carl Di Bella, Senior Professional Staff
Dr. Victor Palciauskas, Senior Professional Staff
Ms. Helen Einersen, Executive Assistant
Ms. Linda Hiatt, Management Assistant

I N D E X

	<u>PAGE NO.</u>
WELCOME	
Dr. Donald Langmuir	3
Nuclear Waste Technical Review Board (NWTRB)	
REGULATORY BACKGROUND	
Session Introduction	
Patrick Domenico	4
Nuclear Waste Technical Review Board (NWTRB)	
Review of the history and intent of 10 CFR 60 GWTT criterion	
Michael Bell.	6
Nuclear Regulatory Commission (NRC)	
Review of the regulatory background of 10 CFR 960	
Stephan Brocoum	23
Department of Energy (DOE)	
Review of regulatory background and history: Stakeholder viewpoint	
Mal Murphy	29
Nye County, Nevada	
PROPOSED PROGRAM APPROACH TO GWTT: CONCEPTUAL PROBLEMS	
Program overview of GWTT assessment	
Eric Smistad.	54
Department of Energy (DOE)	
Interpretation of regulations and calculational philosophy	
Lester Berkowitz	56
Management and Operating Contractor (M&O) TRW Environmental Safety Systems, Inc. (TRW)	
Calculational approach	
James Duguid.	65
M&O - INTERA	
Implementation of approach - an illustration	
Ralston Barnard	90
Sandia National Laboratories (SNL)	
DISCUSSION, QUESTIONS, AND COMMENTS	
Board, presenters, and audience	116

1 Board's Senior Technical Staff and who supports this panel on
2 hydrogeology and geochemistry.

3 Several other Board staff members are with us
4 today. Let me introduce them briefly. Dr. Carl Di Bella who
5 is senior technical staff member supporting the panel on
6 engineering barrier systems. Linda Hiatt and Helen Einersen,
7 back in the corner next to the table, are in charge of
8 meeting arrangements.

9 The theme of this meeting is ground water travel
10 times and fluid-flow pathways. Ground water plays a key role
11 in almost every aspect of the nuclear waste disposal system.
12 It strongly affects the corrosion rates of canisters, waste
13 form dissolution rates, and is the principal medium for the
14 rapid transport and dispersal of radionuclides in the
15 subsurface. So, it's not surprising that the ability of a
16 geologic medium to transmit ground water is an important
17 consideration in the regulations. We will discuss one of
18 these today which is a criterion on the geologic subsystem
19 for isolating waste, ground water travel time.

20 I'll now hand over the gavel to Pat Domenico who
21 will chair today's session on ground water travel times.
22 Pat?

23 DR. DOMENICO: Good afternoon. As Don Langmuir just
24 told you, the first theme of this meeting is ground water
25 travel time. Ground water travel time is an integral

1 component of the regulations dealing with DOE's site
2 suitability determination and license application. We have
3 been hearing about ground water travel time for quite a
4 while, and I think that's quite an understatement. And, if
5 history is any indication of the future, we will probably
6 hear about it quite often in the near future.

7 So, it seems appropriate that we discuss this
8 ground water travel time and the associated regulatory
9 criteria to see if we can agree or disagree on the following
10 items. What do we mean by ground water travel time? Can we
11 measure it? If we can't measure it, can we calculate it?
12 And, do we have the appropriate data and models to perform
13 this calculation? When we have calculated it, how do we
14 interpret the results? What does it all basically mean?

15 We'll take a top down approach to today's agenda by
16 starting with an overview of the regulatory background and
17 history of the ground water travel time criteria from three
18 perspectives. These perspectives will be presented from the
19 Nuclear Regulatory Commission, the Department of Energy, and
20 the affected Government viewpoint, namely the State of Nevada
21 and local Governments. There are many conceptual and
22 technical problems associated with travel time criteria and
23 we hope to become more aware of them and discuss their
24 merits. We'll end the day with a general discussion among
25 the panel and speakers and comments from the audience.

1 Now, I know that each speaker has much more than
2 can be said in his or her topic area than the time allowed
3 it. I would expect a lively discussion on several of the
4 controversial issues. So, I will try to keep on schedule to
5 allow ample time for questions. Later, I will be soliciting
6 questions from the Board, the staff, from the floor, and from
7 each speaker. If, by some chance, I don't get your question
8 or comment, please try to hold it until the public comment
9 period at the end of the day.

10 Right now, I am pleased to introduce our first
11 speaker, Dr. Michael Bell, of the Nuclear Regulatory
12 Commission who will review the history and original intent of
13 the 10 CFR 60 ground water travel time criteria.

14 DR. BELL: Thank you, Dr. Domenico.

15 I'm please to be here with you today to start off
16 this session to try to give you some understanding of the
17 regulatory perspective on the subsystem performance
18 requirements in 10 CFR Part 60 and, in particular, the ground
19 water travel time and how it fits into our concept of the
20 overall system and how it helps to contribute to insuring
21 that isolation of high-level wastes is successfully achieved.

22 As Dr. Domenico said, my name is Michael Bell. At
23 the present time, I'm chief of the engineering and geology
24 branch at NRC. About 10 years ago when Part 60 was being
25 developed, I was the manager who had overall responsibility

1 for putting together the technical criteria and the rule. I
2 have with me today two staff members from our performance
3 assessment and hydrology group; Dave Brooks who is the
4 section leader of the hydrology section, and Jeff Pohle who
5 works in his section who I hope will be able to help answer
6 some of the more detailed questions that might come up.

7 When we were developing Part 60, our concept of the
8 repository isolation system involved essentially three
9 opportunities in order to isolate the wastes and keep it from
10 the accessible environment. First, containment of the waste
11 within the waste package for a period of time. After
12 containment was breached, we still understood that it would
13 be possible to control the release rate of the radioactive
14 materials from the waste package system into the accessible
15 environment or into the natural systems surrounding the
16 repository. And then, finally, you had the natural systems
17 that could delay and isolate the radionuclides as they were
18 being transported from the repository to the accessible
19 environment. And, in developing Part 60, we wanted to insure
20 that all three of these mechanisms for isolation contributed
21 and we deliberately chose to have quantitative criteria for
22 the performance of each of these systems or subsystems.

23 As you probably know, through the rulemaking
24 process, we came up with a containment period within the
25 waste package of 300 to 1,000 years and a controlled release

1 rate after waste package failure of 10^{-5} of the inventory of
2 radionuclides in the waste packages at 1000 years. And, what
3 I'd like to go through today is the deliberations we went
4 through in coming up with the quantitative performance
5 measure that we've placed on the natural systems which was
6 the 1,000 year ground water travel time.

7 Now, this work was going on in the early '80s and
8 some of the important information in the literature that we
9 considered at that time were international recommendations by
10 the IAEA on site selection factors for geological
11 repositories, the American Physical Society Report, USGS
12 Circular 779, and the National Academy Report on Geological
13 Criteria.

14 The kinds of recommendations that were being made
15 at that time--and recall this is back at a time when all the
16 sites that were under consideration were in the saturated
17 zone. The salt domes in the southern United States, the
18 Hanford site, the sites that were under consideration on the
19 Nevada Test Site were, in fact, in the saturated zone, not in
20 the unsaturated zone. And, there was at one time a second
21 repository program where sites in saturated media in
22 crystalline rocks were being investigated primarily in the
23 northern and eastern United States. And, one of the
24 universal understandings, say, regarding waste isolation was
25 that the most likely process for moving radioactive waste

1 from the repository to the biosphere was transport by ground
2 water.

3 Other recommendations that were made in the various
4 literature involves trying to find a dry formation, one with
5 little or no movement of ground water, negligible migration,
6 a site where the hydrogeologic properties are predictable
7 with reasonable assurance for about 1,000 years. And, 1,000
8 years was considered an important time because it was
9 sufficient time for some of the large inventory of highly
10 radioactive fission products to decay to negligible levels.

11 Again, continuing, some of the considerations in
12 USGS Circular 779, some of the things to be sought in a site
13 that was good for isolation of high-level waste. And most of
14 these deal with ground water, although some of them deal with
15 geochemical absorption; low permeability of the medium, high
16 effective porosity, low gradient, and long flow path.

17 Based on these considerations, the staff in
18 developing the proposed Part 60 came up with these
19 preliminary conclusions or basic concepts that were embodied
20 in the proposed rule. But, ground water transport was the
21 most probable release pathway. A criterion based on quantity
22 of ground water flow would be a very site and design specific
23 question and we, in fact, concluded it would be difficult to
24 set a generic number for the quantity. That while the long-
25 term performance of the repository again would involve the

1 geochemical system and how it performed, again that was
2 considered to be very site-specific. Many combinations of
3 parameters, such as permeability, porosity, gradient, and
4 flow path length can result in long travel times and
5 transport times, but it wasn't considered practical to set
6 discrete values for each of these. But, the ground water
7 travel time was a way of combining what was recognized in the
8 literature as the important parameters controlling ground
9 water flow. So, we proposed ground water travel time as the
10 quantitative measure that would be a measure of performance
11 of the geologic setting.

12 We did consider a number of alternatives. Require
13 the geologic setting to essentially provide whatever margin
14 was needed to compliment the engineered system to insure the
15 overall performance criterion. At that time, there was a
16 draft EPA standard that we were working with that was
17 similar, but not identical to 40 CFR 191 that was promulgated
18 and then withdrawn. Another alternative was to consider a
19 minimum radionuclide travel time from the underground
20 facility to the accessible environment or the limit on the
21 ground water travel time for the undisturbed geologic
22 setting. And, I'll talk a little bit about the pros and cons
23 of each of those alternatives.

24 Basically, a requirement that the geologic setting
25 provide whatever margin is needed to compliment the

1 engineered barriers to meet the overall system performance,
2 basically is already a requirement. I mean, that's just
3 another way of saying if the--essentially 1 and 1 is 2. This
4 wouldn't really provide any redundancy or additional
5 assurance that in the event one of the systems didn't perform
6 as expected that the waste would still be isolated from the
7 accessible environment for long periods of time which was,
8 essentially, the objective we were trying to achieve. An
9 alternative, such as this, essentially, in order to know what
10 the geologic setting would have to do to compliment the
11 performance of the engineered system would essentially
12 require the total system performance assessment to be done
13 and it just did not seem to be a good way to go about getting
14 a simple measure for whether or not you had a good site.

15 The second alternative was recommended by several
16 parties during the rulemaking. Essentially, rather than a
17 minimum ground water travel time, a minimum radionuclide
18 travel time which was considered, but not adopted because we
19 felt that it was almost as difficult to do that analysis as
20 it would be to do the total system performance assessment.
21 We did not have sufficient confidence in our ability to
22 understand and model the geochemical behavior of the
23 transport system that we thought we could specify in the rule
24 in numerical value that would have to be met by the
25 combination of the flow and transport systems.

1 The Alternative 3 of setting a numerical criterion
2 for ground water travel time for the undisturbed geologic
3 setting was considered relatively simpler. That, basically,
4 it was something that the staff considered would be a measure
5 of a site that could be independently checked by things like
6 tracer experiments, ground water dating, other techniques
7 that did not, in fact, require complicated assessments of
8 thermal and geochemical behavior of the total repository
9 system. And, basically, this was the measure that was
10 proposed and it was intended that basically, even if other
11 parts of the system did not perform in the actual case as the
12 rule required and the assessment said they would perform, but
13 in the event that there was something overlooked in the
14 engineering, there would at least be 1,000 years of
15 protection provided by the hydrologic systems alone. We had
16 good reason to think that there would be additional
17 protection provided by geochemical retardation and the
18 behavior of geochemical systems and that the combination of
19 the various subsystem requirements would, in fact, lead to an
20 isolation system that would provide for protection of public
21 health and safety with a fair degree of confidence.

22 Now, in coming up with the numerical value,
23 essentially we're looking at different orders of magnitude;
24 100 years, 1,000 years, 10,000 years. And, in our thought
25 process, basically, we thought it was fairly likely that a

1 number of sites with the travel time of 100 years would be
2 available, but that that was such a short travel time that
3 you would end up placing too much reliance on the other parts
4 of the system that perhaps we didn't have as much confidence
5 that we could predict the behavior of with high liability.
6 The 10,000 year travel time, if it could be achieved, was
7 considered sufficient. In fact, it all by itself would have
8 met the EPA standard of the time and, in fact, at one time in
9 a draft of the proposal rule a favorable condition was to
10 find a site with a 10,000 year travel time. That was later
11 changed to be just well in excess of 1,000 years. And, the
12 travel time that we eventually proposed based on this
13 reasoning was a ground water travel time of 1,000 years which
14 we thought was achievable at a number of sites and different
15 geologic media and would not place so much reliance on the
16 geochemical systems to essentially insure the EPA standard
17 would be met.

18 Now, due to the public comment on the proposed
19 rule, there were some refinements made in the final rule.
20 Basically, the arguments that I've been making lead you to
21 conclude that you cannot count on portions of the geologic
22 setting that are disrupted or affected to a great degree by
23 the construction of the repository and the emplacement of the
24 wastes. So, in the final rule, the concept of a travel time
25 from the edges of the disturbed zone to the accessible

1 environment was introduced. And, again, this is because we
2 wanted to get a measure of the performance of the geologic
3 setting and we did not want to have to do a systems analysis
4 of all the thermal perturbations and the disturbances close
5 to the waste and the source of the heat.

6 To support the final rule, we did a sensitivity
7 analysis of the contribution of the various subsystem
8 performance criteria to meeting the overall EPA standard and
9 showed that basically a 1,000 year ground water travel time
10 was--and, I think this is interesting wording--it can be of
11 significant value in providing reasonable assurance that the
12 assumed standard can be met without placing undue reliance on
13 the ability of the underground facility to minimize relief
14 rates. In other words, having a 1,000 year ground water
15 travel time did not by itself insure that the EPA standard
16 would be met. But, for a range of containment times, release
17 rate times, and with some consideration of contribution from
18 the geochemical systems, in most cases if the ground water
19 travel time was in excess of 1,000 years, the EPA standard
20 was met. There were some cases with either very little
21 retardation or large release rates where the standard would
22 be exceeded.

23 Now, one of the things that the Board has raised
24 questions about is the provision in Part 60 that allows for
25 the Commission to approve or specify other numerical values.

1 In other words, as I said, the 1,000 years was selected on a
2 consideration of order of magnitude type differences. It did
3 not mean that a site that only had a ground water travel time
4 of 900 years would necessarily fail, or that if the ground
5 water travel time was 1100 years, it was going to be
6 obviously superior. And, the Commission put a provision in
7 the final rule that allowed it to approve other numerical
8 values for the various subsystem performance objectives based
9 on a number of considerations. And, I've listed what these
10 considerations are.

11 Basically, the EPA standard as it's finally
12 promulgated, the age and nature of the wastes and the design
13 of the underground facility; and, what we had in mind here
14 was that if DOE adopted the strategy, for example, where they
15 would store the wastes to allow it to cool down significantly
16 before disposing of it, that might be a reason to approve
17 another containment time, ground water travel time, or
18 engineered system release rate. We would certainly take into
19 consideration the geochemical characteristics of the host
20 rock which, when we had an actual site and design proposed
21 and a site-specific analysis, the Department might be able to
22 show and convince the Commission they had a great deal of
23 confidence that they had a geochemical system that would
24 retard the radionuclides significantly and that could be a
25 basis for approving some different ground water travel time.

1 And then, a final consideration, basically, various sources
2 of uncertainty in predicting the overall performance. In
3 fact, what we had in mind there, it could even lead the
4 Commission to require some part of the system to perform at a
5 higher level than the numerical values in the rule.

6 Now, as I had mentioned earlier, the initial
7 promulgation of the Part 60 technical criteria was done when
8 the DOE program was still looking at sites in the saturated
9 zone. Shortly after--well, shortly, I think it was about two
10 years after Part 60 was promulgated--the DOE program changed
11 to focus in on Yucca Mountain. And, there were requests and,
12 in fact, a USGS circular dealing with disposal in the
13 unsaturated zone where USGS asked the NRC, as well as DOE
14 asked the NRC, to consider whether the rule should be amended
15 to better consider disposal in the unsaturated zone. The
16 staff thought it was a reasonable request and went through a
17 rulemaking where it revisited Part 60 and, basically, came to
18 the conclusion that the numerical criteria as they were and,
19 in particular, the ground water travel time, were
20 sufficiently generic that they would apply in either the
21 saturated or unsaturated zones, but we thought some
22 clarification of terms was needed. So, definitions like
23 "ground water", I think a new definition of "unsaturated
24 zone", and some of the favorable and potentially adverse
25 conditions were modified. And, basically, as far as the rule

1 is concerned, that's--I think that amendment took place about
2 1985 and that's essentially the same form Part 60 is in
3 today.

4 More recently, DOE has written to us and I think
5 the Board has been provided a copy of that letter with
6 proposed approach for how they would demonstrate compliance
7 with ground water travel time at Yucca Mountain. They
8 indicated they thought this would not require changes in the
9 text of either Part 60 or Part 960. And, NRC responded to
10 that letter that, basically, we believe that what they were
11 proposing, if we understood it properly, would be an
12 appropriate way to evaluate ground water travel time at Yucca
13 Mountain. And, at this point, all that has happened is an
14 exchange of letters. They have something in mind and, I
15 think, maybe Jim Duguid later will be telling us more about
16 what it is. We think we understand what they have in mind or
17 are willing to consider it and, essentially, that's what
18 we've told them; that we need to have some more meetings and
19 detailed exchanges on a number of technical questions that we
20 identified in our response letter. There is a meeting
21 scheduled for November 28 between NRC and DOE. I think it's
22 here in Las Vegas--in Denver. And, basically, that's where
23 we stand as of today in the regulatory establishment of the
24 ground water travel time criterion and the progress that
25 we're making on addressing it.

1 DR. DOMENICO: Well, thank you very much, Dr. Bell.

2 Any questions from Board members?

3 (No response.)

4 DR. DOMENICO: Staff?

5 DR. PALCIAUSKAS: I have one question. At the time of
6 the regulation, how much thought did you put into the fact
7 that there is going to be a wide distribution of travel
8 times, and that this will cause a significant, perhaps,
9 problem in the evaluations and interpretations of the
10 regulation?

11 DR. BELL: Well, in fact, I think even though at the
12 time the regulation was promulgated we were looking at sites
13 in the saturated zone, we were anticipating a wide
14 distribution in travel times. For example, the Hanford site
15 was under consideration and, if you have flow through the
16 basalt matrix, it's almost non-existent. But, the basalt is
17 a fractured, calmer system and another pathway for ground
18 water flow through the fractured system was possible. And,
19 during site characterization, there were very--well, I don't
20 know that we ever got them fully characterized, but there
21 were brecciated zones of unknown extent that might have been
22 even more significant pathways. So, we were looking at
23 systems that could have, you know, extraordinarily long
24 ground water pathways through the matrix with probably no
25 water going through that way and then a combination of

1 fracture flow and flow through localized brecciated zones
2 that would be what we would consider the fastest likely
3 pathway. And, I think it's very analogous to the situation
4 that we might have here at Yucca Mountain where you have
5 alternatives of flow through the matrix, flow through an
6 interconnected fracture system, or maybe a very fast flow
7 through the Sun Dance Fault if that's a pathway. And, what
8 we had fully intended was if the Sun Dance Fault is a
9 significant flow pathway, then that would be the pathway that
10 you would evaluate to judge the ground water travel time
11 criterion.

12 DR. DOMENICO: Any further staff questions?

13 (No response.)

14 DR. DOMENICO: I have one, Dr. Bell. It says action
15 taken--that is once you accepted the unsaturated zone through
16 the USGS discussions--action taken included new definitions
17 of the terms "ground water" and "unsaturated zone". Did you
18 consider or have you considered the fact whether or not
19 you're going to consider vapor transport through the
20 unsaturated zone as part of a travel time criteria? The
21 discussions got that far?

22 DR. BELL: Well, at that time, you mean?

23 DR. DOMENICO: Well, it says action taken--so, I guess
24 actions have been taken--included a new definition of the
25 term "ground water".

1 DR. BELL: Yeah.

2 DR. DOMENICO: Unsaturated travel time doesn't have to
3 deal with vapor. It becomes quite an issue in the
4 unsaturated zone.

5 DR. BELL: The definition of "ground water" in the
6 original Part 60, essentially, was water below the water
7 table. The change that was made was, essentially, to cover
8 all water below the earth's surface. And, Dave is getting up
9 to help me. I guess, what we need to clarify is did that
10 just mean liquid water or did it mean water in vapor form?

11 MR. BROOKS: Yeah, I'm David Brooks, NRC. At that time,
12 all we were doing was combining ground water which was that
13 water below the water table and the vadose water or phreatic
14 water. Considerations of transport by vapor was handled by
15 the addition as an adverse condition, radionuclide release in
16 the vapor phase.

17 DR. DOMENICO: We're a few minutes ahead of time. Is
18 there anybody out there who wants to say something?

19 Bill?

20 DR. WILLIAM BARNARD: Mike, could you describe your
21 plans for what sort of action you might be taking at the end
22 of the year when the National Academy report comes out? Are
23 you going to be reviewing the regs or what?

24 DR. BELL: Well, when the Academy report comes out, we
25 will start to look at it immediately. But, there's another

1 party which is the EPA which has to decide based on the
2 Academy report what they'll do with their standard. And, I'd
3 say while we could start to think about things when the
4 Academy report comes out, until we get an indication what EPA
5 might be likely to do, I don't think we can do anything very
6 definitive.

7 DR. DOMENICO: Don Langmuir?

8 DR. LANGMUIR: Mike, the discussion of the disturbed
9 zone is what I'm curious about here. My understanding was
10 the original concept of the disturbed zone was a fairly small
11 fraction of the mountain. If you take the word "disturbed"
12 in its broadest sense, one or two degrees Celsius means
13 disturbance of some kind. We're now talking about
14 temperatures that are up by several degrees at the surface of
15 the land. The disturbed land becomes a very large part of
16 the whole repository block and more. Does its size lead to
17 some thinking by NRC about how to handle the regs or how to
18 handle the travel time issues differently perhaps than you
19 originally conceived?

20 DR. BELL: Well, let's say that we never had quite the
21 situation at Yucca Mountain in mind when we were formulating
22 the concept of disturbed zone. A degree or two of heat rise
23 wasn't what we had in mind. Basically, what we were
24 concerned about was something that would give you much
25 different ground water flow patterns than the condition that

1 existed before the repository was put there. And, well,
2 let's say the hot repository concept, we never envisioned the
3 system where you would try to keep the entire underground
4 facility above the boiling point for 1,000 years. That is
5 thermally a much more complicated system to evaluate than the
6 sorts of things that were envisioned a decade ago where, in
7 fact, the attempt was to keep temperatures even in the near-
8 field below 90 degrees Centigrade, so that backfill and
9 buffering materials didn't lose its subversion properties and
10 things like that. So, I think, Dave and the performance
11 assessment people were having, say, to break some different
12 territory than what we had in mind in evaluating the
13 disturbed zone concept as you have to apply to Yucca
14 Mountain.

15 MR. BROOKS: And, I can just add to that. We are
16 presently studying our implementation of disturbed zone. We
17 haven't come to any conclusions about it. One of the keys
18 though is, as Mike mentioned--and I don't have the definition
19 in front of me--but it's properties that are changed and it's
20 those properties that we change the flow characteristics that
21 we are focusing on.

22 DR. DOMENICO: I think we'd better move and, if we have
23 any further questions, maybe we can address them at the panel
24 wrap-up later today.

25 Right now, we'd like to welcome Steve Brocoum who

1 will give the DOE's historical background and perspective of
2 10 CFR 960.

3 MR. BROCOUM: I'll try to do a historical background. I
4 didn't actually live through this because at the time we're
5 talking about, the early to mid-'80s, I was in nuclear
6 reactor regulation. I was at NRC from '79 to '81 involved
7 with some of the stuff Mike Bell was talking about and then I
8 moved to nuclear reactor regulation from '81 to '86. I
9 didn't come back to this program until 1986. If anybody
10 needs to correct me or something or add something to what I'm
11 saying, I wouldn't mind. So, if anybody has anything to add
12 from a DOE perspective, please do so.

13 The Nuclear Waste Policy Act required DOE to issue
14 guidelines for the recommendation of sites for repositories.
15 So, these are the guidelines we're following for our site
16 suitability or technical site suitability evaluations. Such
17 guidelines shall specify factors that qualify or disqualify
18 any site from development as a repository, including factors
19 pertaining to hydrology. Notice that when Mike was talking,
20 he didn't talk about disqualification. In fact, he even said
21 a 900 year ground water travel might not disqualify a site.
22 So, we issued in response to this requirement the 10 CFR Part
23 60 general guidelines for the recommendation of sites for the
24 nuclear waste repositories towards the end of 1984.

25 When we issued the draft, which I believe was in

1 1983, the ground water travel time disqualifier read like
2 this and I'll read it. A site would be disqualified if the
3 "expected pre-waste-emplacment ground water travel time
4 along any path of likely radionuclide travel from the
5 disturbed zone to the accessible environment is less than
6 1,000 years,"--a big qualifier--"unless the characteristics
7 and conditions of the geologic setting, such as the capacity
8 for radionuclide retardation and the ground water flux, would
9 limit potential radionuclide releases to the accessible
10 environment to the extent that the requirements specified in
11 960.4-1 total system performance could be met."

12 The NRC made their comments and stated that we
13 should not put our guidelines such that the 1,000 year ground
14 water travel time would be adjusted--and, in fact, they
15 repeated that in their letter to of August 23, interestingly
16 enough--especially in the early stages of site selection.
17 Because from the NRC point of view, the only people that can
18 change the ground water travel time requirement is the
19 Commission itself. So, to be consistent with them and the
20 fact that the NRC had to concur on our guidelines, we deleted
21 that text that was underlined on the previous viewgraph. So,
22 starting with the word "unless", we deleted that text. We
23 did make one other change. And, it now today reads: "A site
24 shall be disqualified if the pre-waste-emplacment ground
25

1 water travel time from the disturbed zone to the accessible
2 environment is expected to be less than 1,000 years along any
3 pathway of likely and significant"--that phrasing was added;
4 that's not in the NRC, for example, language--"radionuclide
5 travel."

6 DOE maintained that that wording "and significant"
7 was important. It was important to avoid disqualifying an
8 otherwise adequate site when early predictions indicated that
9 the small amounts of water that would not be capable of
10 carrying significant amounts of radionuclides might reach the
11 accessible environment in less than 1,000 years. So, again,
12 it's that issue you don't want to throw away a good site
13 because of some minor amount of water that has a ground water
14 travel time of less than 1,000 years. And, the NRC's
15 comments on our rule is it did not object to a difference of
16 phrasing between the DOE guideline and its counterpart in 10
17 CFR 60 and concluded that our final revision, the one I just
18 read before, was not in conflict with Part 60. One of the
19 reasons they said that was because the purposes were
20 different. Our purpose was to see whether a site was
21 suitable to be submitted for a license application.

22 We were required to evaluate Part 960 as a basis
23 for nominating sites for characterization and the
24 environmental assessment for Yucca Mountain which we did
25 through '86. We included a lower-level finding that ground

1 water travel time disqualifying condition was not present.
2 Remember now, a lower-level finding is that the information
3 in this case indicates that this condition is not present,
4 but there's no assurance about future information. Future
5 information may change your mind. Whereas, a high-level
6 finding, you have enough understanding of the uncertainties
7 that you believe that you--you don't believe that additional
8 information will cause you to change your mind. So, this was
9 just a lower-level finding.

10 For those that might be interested in looking at
11 that evaluation in detail, it's on Pages 6-120 through 6-160
12 in the environmental assessments in the first volume. Okay?
13 And, one of the diagrams shown was this diagram which has a
14 contour of the ground water travel time based on the
15 calculation that was done and that ranges from about 20,000
16 years in the northeast corner to 70,000 years on the
17 southwest corner of the repository block. And, the
18 unsaturated zone is 200 meters thick here and it's 300 meters
19 thick there. I think that's the right numbers. The thing
20 that correlates most is the thickness of the unsaturated
21 zone. They assumed a flux of .5 millimeters per year. The
22 travel time was a minimum of 9,000, a mean of 43,000, I think
23 there was a median of around 41,000, and a maximum of about
24 80,000 for the unsaturated zone. And then, for the saturated
25 zone, it came up to about 150 years. So, a conclusion was--

1 and, I won't read all this--"therefore, the evidence does not
2 support a finding that the site is disqualified." So, it was
3 a Level 1, a lower-level finding.

4 What's our current status? Our focus now in
5 developing an approach that provides a technical basis for
6 evaluating both the NRC 10 CFR Part 60 performance objective
7 for the geologic setting and our 10 CFR 960 disqualifying
8 condition. You will hear a lot about that, I assume, today
9 from these three gentlemen on the end of the table here. We
10 did present that general approach to the Board in Reno on
11 April 11 or 12. Jean Younker did that. We did also
12 summarize that approach in a letter which we sent to the NRC
13 on June 10 and we requested their comments and we did receive
14 their comments very timely on August 23 from the NRC, and
15 Mike summarized those comments. One of the interesting
16 comments the NRC gave us was that it's--I'm not sure I'm
17 using the right word--but, you know, the fastest. There's
18 the word "fastest" in there. And, the NRC considers the
19 fastest path to be significant unless we can show that it's
20 not. And, that was one of the other comments that you didn't
21 mention, but was in the letter.

22 So, that's where we stand right now. So, if
23 anybody has any questions, I'll be glad to answer them.

24 DR. DOMENICO: Thank you, Steve.

25 Questions from the Board? Don?

1 DR. LANGMUIR: Your 1986 analysis of flux and travel
2 times, Steve, suggested means of, say, 43,000 years. Is that
3 pretty much where you still would be, looking at what's been
4 learned since then about the site?

5 MR. BROCOUM: I could ask one of these experts here to
6 tell what's the latest. Do we have any latest estimates or
7 does anybody feel like making a comment on that? I don't
8 want to speak out of turn here.

9 DR. RALSTON BARNARD: Ralston Barnard from Sandia Labs.
10 Unfortunately, it depends greatly on the flow model that you
11 choose to use. If you use a composite porosity model, then
12 indeed tens of thousands of years is an expected time. If,
13 on the other hand, you use models which specifically attempt
14 to model fast path flow, then you can get considerably
15 shorter times. We'll actually be able to show this in some
16 detail between Jim and me a little later on today.

17 DR. LANGMUIR: And, will you also be discussing the max
18 and min, the earlier rivals, the general rival time ranges
19 that are proposed here at least in the early--can you talk
20 about that again?

21 DR. RALSTON BARNARD: At the risk of giving away the
22 juiciest part of our talks, we really need to stress that the
23 results we come up with are distribution of times and that
24 it's the tail of the distribution, in fact, the early time
25 tail, is that which is of most interest to us.

1 DR. DOMENICO: Further questions from the Board or
2 staff?

3 (No response.)

4 DR. DOMENICO: We're a few minutes ahead. Does anybody
5 out there have some thoughts or questions about what's going
6 on here?

7 (No response.)

8 DR. DOMENICO: Thank you very much, Steve.

9 The last perspective before the break is that of
10 the affected local governments, their viewpoints of the
11 regulatory background, and now Mal Murphy is going to help us
12 out there.

13 MR. MURPHY: Thank you, Pat. I'm Mal Murphy, as most of
14 you know. I'm the regulatory and licensing advisor to the
15 Nye County Nuclear Waste Repository Office. And, the views
16 I'm going to express here today are those of Nye County,
17 although I think I can say with a fair degree of confidence
18 that there is virtually no daylight between what I'm going to
19 say and the views on the regulatory question surrounding this
20 ground water travel time held by the other units of local
21 government and the State of Nevada, as well, I think.

22 Just a quick summary of what I intend to cover,
23 again it's the regulatory perspective. I'm not a scientist.
24 I'm not going to talk about scientific data needs with one
25 small exception later on in my presentation. It's not

1 specific to DOE's new ground water travel time computational
2 methodology nor to the PPA, although again I'll have some
3 comments germane to both of those later on. I'm going to go
4 over the ground travel time provisions very, very quickly.
5 There's a lot of repetition here obviously between what I
6 have in my materials and which Steve Brocoum and Mike Bell
7 covered. I'm going to go over then what my view of the
8 regulatory background and history is of both the DOE
9 guidelines and the NRC licensing criteria.

10 I'm going to start with the DOE guidelines.
11 Although I think they're probably less significant than the
12 NRC criteria, I'm going to start with them because DOE has to
13 start with them. They come first. They have to determine
14 suitability before they can file a license application,
15 obviously. Then, just some general concepts and
16 considerations, I think. And, Pat, I'm going to get into the
17 question of whether or not it includes vapor, as well as the
18 liquid phase when we talk about ground water. And then, very
19 quickly our views and interpretations of what some of the
20 stuff means.

21 The ground water travel time provisions you're all
22 familiar with. I think both Mike Bell and Steve Brocoum put
23 them up on the board. I do want to point out, however, what
24 neither one of them did and that is the most significant
25 difference between the NRC and the DOE in this and a

1 difference that clearly has some serious implications for
2 licensing and that is DOE hyphenates ground water and the NRC
3 does not. Those are not typos; that's the way they are in
4 the regulations. The dictionary of geologic terms that I've
5 had in my office for 10 years says DOE is right, Mike.

6 One other thing that I wanted to very, very quickly
7 point out, we have to remember that these are not just
8 disqualifying conditions or licensing criteria within the
9 geologic setting. Ground water travel time also applies to
10 the favorable conditions. DOE's favorable condition is that
11 if the ground water travel time is substantially in excess or
12 in excess of 10,000 years. The NRC, on the other hand, makes
13 a favorable condition if GWTT is substantially in excess of
14 only 1,000 years. So, on that point, the application of
15 whether or not a favorable condition exists, that point in my
16 view at least the Department of Energy has taken a more
17 conservative approach than the NRC has.

18 Some definitions, again you're all familiar with
19 these. Let me just point out a couple of things very, very
20 quickly again with respect to the disturbed zone, very key in
21 this area as you all know. There will be much more
22 discussion of that later on, I think. I think, as far as I
23 can recall and again from viewing the regulatory background
24 as I prepared for this, it's absolutely correct that when the
25 definition of the disturbed zone was--the two definitions

1 were written by both DOE--this is DOE's definition--and the
2 NRC, people didn't take into consideration the impact of
3 thermal loading, of the thermal effects. I think that's
4 absolutely beyond question. They just didn't think about
5 what impact that might have. But, be that as it may, the
6 definitions say--and unless the regulations are somehow
7 changed or some other interpretative action is taken, such as
8 the issuance of the GTP that the NRC has under consideration
9 for a long time--the definition does say the result in change
10 of properties could have a significant effect. And, again,
11 using what we always insist is necessary, principles of
12 scientific conservatism in this area, we have to--I think we
13 have to take a much more serious view of the thermal
14 disturbance problems than anybody thought about back in 1983.

15 Let me point out another thing real quickly,
16 another difference between DOE and the NRC. DOE defines
17 ground water flux, as well as ground water itself. DOE also
18 defines in its guidelines ground water travel time; the NRC
19 does not. The NRC stops and, before the unsaturated zone
20 amendments were adopted in 1985, they stopped at ground
21 water, although the definition was a little bit different.
22 Again, DOE defines ground water travel time. How does that
23 affect the status of the program right now? It seems to me
24 and I think Mike Bell alluded in one of his last remarks
25 about how there needs to be some further discussion between

1 DOE and the NRC and all the program participants on the
2 question of summing the travel times in the saturated zone
3 and the unsaturated zone. Whether or not that's a
4 scientifically sound idea, I'm absolutely not commenting.
5 I'm not a scientist and that's well beyond my qualifications.
6 But, it does seem to me that with respect at least to the
7 ground water travel time definition in DOE's guidelines that
8 this definition allows DOE to do that, it seems to me. From
9 a regulatory perspective, not from a scientific perspective.
10 And, again, only in getting to site suitability, not
11 necessarily as it applies to licensing once this gets into
12 the NRC's lab if and when license application is filed.

13 I'm going to go through this very, very quickly. I
14 think Steve did a very good job of going over the background
15 of the DOE guidelines. Let me just point out a couple of
16 other things that he didn't mention. There was a lot of
17 criticism in the comments. A lot of people insisted that the
18 GWTT should go up to 10,000 rather than 1,000. DOE and the
19 NRC, both, accepted 1,000 versus 10,000. Oh, and the other
20 one. The definition of ground water travel time in the
21 guidelines was as a result of these comments on the proposed
22 rule that came out in '82, I believe it was. A lot of
23 commenters said you should explain to us in the ground water
24 travel time--in the geohydrology disqualifying condition,
25 explain to us how you're going to calculate GWTT. DOE said,

1 well, we're not going to do that. We're going to change it a
2 little bit in response to the NRC's criticisms and their
3 concurrence condition, but we will add a definition of ground
4 water travel time which will tell you how we intend to
5 calculate it and they did that.

6 Again, we're now here talking about why the words
7 "and significant" showed up. Steve covered that adequately,
8 I think, with the exception of a couple of very quick points
9 that I'd like to make. The first is that I think DOE
10 correctly at this stage of the process insisted that there
11 needed to be some flexibility and I'll get to that in just a
12 second. In its concurrence condition, the NRC, as Steve
13 pointed out, said we want you to take the "unless" and all
14 that language out--the "unless" out because that offends us
15 in a variety of ways, the most important of which is that it
16 assumes our licensing responsibilities. DOE insisted on
17 having some flexibility. So, they put in the words "and
18 significant". NRC accepted those changes finding that "and
19 significant" was just redundant and not in conflict with
20 their licensing criteria, but as Steve pointed out, in 1984
21 --and, this is the citation where you can find it; the page
22 of the Federal Register in which NRC's final concurrence
23 document is published--the NRC did say that they would expect
24 the fastest pathway to be significant. In other words, when
25 DOE says in its guidelines the fastest path of likely and

1 significant radionuclide travel, NRC said in 1984 and
2 repeated it again in their August 23 letter to DOE responding
3 to DOE's request for input that NRC expects that the fastest
4 pathway will be significant. And, if it's not significant,
5 DOE has the burden to show that. Again, this is in the
6 licensing context, remember; not at the stage of site
7 selection or site suitability. But, in the licensing
8 context, DOE will need to show that a fastest pathway is not
9 significant in terms of repository performance by the
10 clearest and most compelling showing to the contrary. And,
11 that, I think, is of extreme regulatory significance which
12 I'll get into in a little bit.

13 Again, now, I'm talking about the DOE guidelines
14 here. It's very important, I think, to keep in mind that the
15 DOE guidelines are site selection guidelines. They were
16 written when several sites were under consideration. They
17 were written in order to--or the purpose of the guidelines
18 was to allow DOE to select from among and between several
19 sites; nine sites at one time for the first repository, 16 or
20 so sites for the proposed second repository before the
21 Department caved in to public pressure on that one. But,
22 that's very, very important and, to me, at least, means that
23 the "and significant" language is perfectly reasonable,
24 perfectly appropriate at that point in the repository
25 program. As the NRC itself pointed out in its concurrence

1 conditions, it would not be indeed a good idea to prematurely
2 disqualify what might later on turn out to be a good site if
3 very preliminary data showed that you have or might have some
4 pathways that were significantly faster than 1,000 years.
5 So, it was in the context of selection of sites. And,
6 remember, that's not only selection of a site which was to go
7 to licensing to the NRC, but it's the selection from among
8 nine sites of three sites initially or finally one site to be
9 characterized. So, when you're picking a site to get lots
10 and lots and lots of data on in site characterization, it's
11 not a good idea to prematurely throw a site out because,
12 again, preliminary data indicates that you might have a fast
13 pathway. So, you look to see whether or not that pathway is
14 significant; a perfectly reasonable approach and the NRC
15 recognized that.

16 NRC licensing criteria, they started out talking
17 about the far-field in 1981 and the proposed rule. They went
18 to the--and, this was average, the travel times I think
19 initially in 1091. There was some comment on that and
20 criticism. They changed the final language and it talks
21 about fastest pathway of radionuclide travel and their
22 preamble to the final rule in 1983, I believe, says that
23 while that was implied in 1981, we're going to make it clear
24 and just say the fastest pathway. They again went from the
25 far-field concept to the disturbed zone concept.

1 Mike Bell, I think, explained very adequately why
2 pre-waste-emplacment and the concept of independence and why
3 it was very important to the NRC that this be considered and
4 be applied as an independent test of the overall repository
5 performance in order to contribute to the high-level of
6 confidence, to a level of confidence which the Commission is
7 required to have before issuing a license. Again, a much
8 more different public policy problem, as well as scientific
9 problem, if you will, in deciding whether or not you're
10 actually going to allow the thing to be built and operated
11 rather than if you're preliminary--in the early stages
12 selecting sites to characterize or then selecting a site to
13 take forward to the Commission.

14 The GWTT requirement, some comment--there's
15 actually suggested when we got to adopting the unsaturated
16 zone amendments in 1985--they were proposed in 1984--some
17 comment has suggested and I think--don't hold me to this; I
18 could be wrong, Steve--but, I think the Department of Energy
19 may have been one of them that suggested dropping the ground
20 water travel time requirements as a rigid licensing criteria
21 in the comments on the '84 proposed rule. But, the NRC said,
22 no, no, no, we're going to keep them. The GWTT requirements
23 are important because they do give that independent standard
24 of performance which is necessary. By independent, the NRC
25 meant not dependent upon the effects of waste emplacement and

1 it's intended to help provide the assurance of isolation
2 beyond the first 1,000 years that they felt the Commission
3 would need. These, of course, again, are citations to where
4 this language appears in the Federal Register. The NUREG
5 1046, I think, Mike Bell pointed out is the staff's further
6 in-depth explanation of the rule, as well as the comment/
7 response document.

8 The flexibility or such other language in the NRC
9 performance criteria that Mike Bell pointed out and Steve
10 alluded to has been very important from the outset. That did
11 not creep into the NRC licensing criteria by accident. It
12 was important from the very beginning of this process to the
13 Commission and to the Commission staff that they be given
14 enough flexibility to look at these problems including ground
15 water travel time, on a case by case basis as they relate to
16 the ability of any particular site to isolate waste. But--
17 and, this is an interpretation of mine; this is not the
18 regulations or the supplementary information published at the
19 time the regulations were adopted and don't say this in so
20 many words. But, it's my interpretation that in order to get
21 to the reasonable assurance standard, which I'm going to talk
22 about in a second, if you have a ground water travel time
23 pathway of less than 1,000 years, that's not disqualifying.
24 But, in order to get the license, in order to persuade the
25 NRC that there's still a reasonable assurance that the

1 repository will perform as it is intended to perform and
2 required to perform, if the ground water is going to travel
3 at less than 1,000 years, they're going to have to make the
4 clearest and most compelling showing under that or such other
5 language. And, that should have at least, as I will get to
6 in a little bit, some significance for how the Department
7 conducts its business from now on.

8 Are you paying attention now, Patrick?

9 DR. DOMENICO: Yes, I am.

10 MR. MURPHY: Ground water includes both saturated and
11 unsaturated zones; that's a given since the amendments. In
12 my judgment, ground water includes both the liquid and the
13 vapor phases and this is not necessarily just from a
14 scientific point of view, but it's from the regulatory
15 perspective. When the NRC adopted its unsaturated zone
16 amendments in 1985 and when they first proposed the unsat
17 zone amendments in 1984--and, incidentally, they did that
18 almost immediately after adopting the final technical
19 licensing criteria in 1983 because in the comment process
20 leading up to the adoption of the final Part 60 technical
21 criteria in 1983 a lot of people pointed out that there was a
22 gaping hole here in the regulations in failing to address
23 unsaturated zone. I think, as I recall, because the
24 Department was already, if it hadn't made the decision, it
25 was already seriously considering moving the proposed

1 repository horizon at Yucca Mountain up into the unsaturated
2 zone and, therefore, that needed to be considered. But, in
3 the supplementary information in the discussion of the
4 proposed rule in 1984 and again in its adoption of the final
5 rule in 1985 and in NUREG 1046 which accompanied the
6 unsaturated zone rules, the NRC staff said very clearly, as
7 far as I'm concerned, that vapor transport of contaminants,
8 it was identified by the staff as a potential concern
9 associated with disposal in the unsaturated zone. This is a
10 quote from one of these pages. I think the quote appears
11 identical in both the preamble to the proposed rule and the
12 final rule. "In unsaturated geologic media, water is
13 transported in both liquid and vapor phases." And, this is
14 at the same time, remember, that they were amending their
15 definition of ground water to include all water below the
16 land surface, I think it is. Relative contribution of
17 transport via both phases and their direction of movement
18 directly influence containment. Again, this is a paraphrase,
19 not a quote. This is another quote: "Vapor transport,
20 particularly when a thermal gradient is imposed, may provide
21 a possible mechanism for radionuclide migration from a
22 geologic repository."

23 Now, in the final rule which was adopted in 1985 as
24 opposed to the proposed rule which was published in 1984,
25 they took consideration of vapor phase out in the regulatory

1 language itself and I think the potentially--I didn't set it
2 out here in my prepared material, but I believe the
3 potentially adverse condition in the final adoption in 1985
4 refers only to gas, not water vapor. But, the concern which
5 prompted that and a concern which was on the NRC staff's
6 mind--all during this little over a year period in which they
7 were considering the unsaturated zone amendments--what do we
8 do about vapor? Water travels in both the liquid and the
9 vapor phases. It contributes or has the potential, at least,
10 to contribute to contamination and so it has to be
11 considered. And, there's also some language which I didn't
12 set out saying, hey, this is a big problem; we're going to
13 have to study it further.

14 So, my position, at least, is that until something
15 with finality is done with the regulations or until some NRC
16 Commission sanctioned official interpretation to the contrary
17 is adopted, ground water includes both the liquid and the
18 vapor phases. That's our position. And, obviously, as you
19 all recognize, this may very constitute the fastest pathway
20 of radionuclide travel and it's going to be a lot quicker
21 than 1,000 years, a lot quicker. But, again, that doesn't
22 necessarily mean that Yucca Mountain is going to be
23 disqualified because it will be considered under the such
24 other language of 60.113(b), but if you have a pathway--if
25 vapor constitutes the fastest pathway and that's going to

1 carry some radionuclides, DOE is going to have to make to the
2 NRC the clearest and most compelling showing that that's not
3 going to constitute significant radionuclide migration and
4 will not push Yucca Mountain over the EPA limits.

5 Again, very quickly, some points. Obviously, the
6 accessible environment includes the land surface. That's
7 significant in the vapor phase. The argument in my view, at
8 least, the disturbed zone extends well beyond the repository
9 boundary. It includes the entire thermally affected area so
10 long as the change of properties may have or could have--
11 depending on whether you're reading DOE or NRC's language--a
12 significant effect on performance. The guidelines initially
13 defined disturbed zone in terms of permanent change. When I
14 say DOE's concurrence guidelines--I don't know what the heck
15 I'm talking about there, but--well, DOE's siting guidelines
16 --really, that's got to be a typo--initially defined the
17 disturbed zone in terms of permanent change. The NRC in its
18 concurrence condition said, no, no, no, that's not good
19 enough. DOE removed "permanently" in response to a NRC
20 concurrence condition. The NRC pointed out that in its
21 definition of the disturbed zone, it's not limited to areas
22 that have changed permanently; and the NRC was concerned that
23 DOE might neglect transient changes that could have a
24 significant effect on the repository. I'm suggesting one of
25 those transient changes obviously is thermal effects.

1 I want to talk a little bit about reasonable
2 assurance and my view and how it impacts ground water travel
3 time. In my view, reasonable assurance may very well be the
4 least well understood aspect of the Nuclear Regulatory
5 Commission's licensing process; probably with respect to
6 reactor licensing, as well as the repository, but they aren't
7 very much into that business any more. The reasonable
8 assurance standard--and a lot of people that I've talked to
9 informally in the last 10 years, 11 years, I guess that I've
10 been involved in this program initially had the assumption
11 that this was something that the NRC cooked up with respect
12 specifically to the repository program. That is absolutely
13 not the case. The reasonable assurance standard has its
14 roots in the Atomic Energy Act itself. It's been around
15 since the very beginning of Atomic Energy licensing
16 activities. It comes from the NRC's, the AEC's in the old
17 days, requirement that whatever they do, any license they
18 issue, any activity that they permit under the Act not have
19 an unreasonable or undue impact on public health and safety.

20 The term "reasonable assurance" and the standard
21 itself and its application in the regulatory concept, a
22 context has been judicially approved. Not only has it been
23 approved, it was approved by the United States Supreme Court
24 in 1961, not '81 or '91; '61, 1961 in the first contested AEC
25 licensing proceeding. The first time anyone contested an

1 application for a license to operate a reactor, the case got
2 to the U.S. Supreme Court and the concept of reasonable
3 assurance rather than some other more rigid, more compelling,
4 more numerical sort of approach was specifically approved by
5 the U.S. Supreme Court. So, anybody who thinks in the
6 context of the Yucca Mountain licensing case, for example,
7 that reasonable assurance can be attacked because it's either
8 too rigid, as some people I think who were involved in
9 writing the NAS White Paper a few years ago thought, or
10 because it's not rigid enough, as some people on the other
11 side of this program might feel, I think would be wasting
12 their time. This is a standard that's been around a long
13 time. The NRC knows how to apply it, the staff does, the
14 Commissioners themselves know how to apply it. It's been
15 talked about in case after case after case at the Atomic
16 Safety and Licensing Board level and it has some very well-
17 thought out application to this process. It's also,
18 incidentally, incorporated in the Nuclear Waste Policy Act
19 itself by Congress. So, it's a standard that we're going to
20 be dealing with in licensing.

21 It was criticized by both sides, reasonable
22 assurance, as too rigid and too lax when Part 60 was
23 initially proposed and adopted. It will control the
24 determination and effect on licensing of the fastest
25 pathways. It's explained by the NRC staff or by the

1 Commission itself because they adopted the regulation in 60,
2 Section 101. Complete assurance is not required. And,
3 you've all read these. This is not coming as any news to any
4 of you, I'm sure. Proof of the future performance of the
5 engineered barrier systems and the geologic setting over
6 those kind of time periods is not to be had in the ordinary
7 sense of the word. Make allowance for the time period,
8 hazards, and uncertainties, et cetera. Neither implies--and
9 this is important as far as I'm concerned--it does not imply
10 a lack of conservatism. What I have always insisted is
11 required in the repository program; that is scientific
12 conservatism is not implicated by reasonable assurance, but
13 on the other hand, it doesn't create a standard which is
14 impossible to meet. And, that's the citation where this
15 language comes from.

16 Two principal elements that you'll find in the
17 NRC's language in its application; the PA must indicate that
18 the likelihood of exceeding the EPA standard is low, and the
19 Commission must be satisfied that the performance assessment
20 is sufficiently conservative--again, that notion of
21 conservatism--and its limitations are sufficiently well
22 understood that the actual performance of the repository will
23 be within predicted limits. That's how reasonable assurance
24 is going to be applied. I view it as the same kind of
25 standard which we apply in a lot of other licensing contexts.

1 It's nothing really different.

2 Again, I think this is language which we need to
3 keep in mind that the Commission's task is not only a
4 mathematical one, et cetera, but we need reasonable assurance
5 it's going to allow the Commission to arrive at that bottom
6 line and the Commission is concerned that its final judgment
7 be made with a high degree of confidence. A high degree of
8 confidence and that's also significant language in my
9 judgment.

10 Some general views and interpretations. I think
11 everybody agrees with the first one, the GWTT standard is
12 independent of repository operation. That's clear from the
13 language of the regs themselves. It has to be, I think, a
14 meaningful measurable test of the suitability of the site in
15 the first step and licenseability in the second step. I've
16 always considered ground water travel time to be a minimum
17 standard. I sometimes refer to it as the retch test that if
18 you don't get past that ground water travel time, you have a
19 retching sort of reaction toward Yucca Mountain or any other
20 repository location and it means you have to take a much more
21 close look at it.

22 You can and should rely on the multiple redundant
23 barriers, such as the EBS, retardation, et cetera, to get the
24 performance objectives once ground water travel time is
25 demonstrated, but you don't rely on redundant barriers or

1 retardation to establish ground water travel time. I don't
2 think there's any real argument about that.

3 Another point I think I'd like to convey. It
4 clearly is that ground water travel time is not a potentially
5 adverse condition. It's a disqualifier in the DOE guidelines
6 subject to the "and significant" language, of course. In the
7 NRC licensing criteria, it shows up only in the geologic
8 setting and in the favorable conditions. And, in other
9 words, if ground water travel time is less than 1,000 years,
10 it's not a potentially adverse condition; it is adverse in
11 fact, i.e. disqualifying. Unless DOE can under this clearest
12 and most compelling showing standard, demonstrate factors
13 which would warrant the NRC invoking the "or such other"
14 language as in 113(b).

15 Now, let me tell you here's where I'm going to
16 violate my rule about not talking about data needs because
17 I'm not a scientist. Let me suggest that one way--let's
18 first assume that you're going to have some pathways faster
19 than 1,000 years. That will clearly be the case if the
20 disturbed zone extends all the way, for example, into the
21 saturated zone. As many people will argue, if all of the
22 thermal effects are taken into consideration and if the
23 disturbed zone definition is construed liberally and the
24 language "may or could affect" is given its full flavor and
25 meaning, you could have a disturbed zone that starts or that

1 goes into the saturated zone and you could have Steve's
2 ground water travel times of 150 years, not 43,000.

3 What then? Well, then, DOE has to make its
4 clearest and most compelling showing, I think. One way I
5 would suggest that you do that is by the use of multiple
6 models, lots of data, gather data from all points on the
7 compass, do your modeling and performance assessment, as is
8 being done--I'm not suggesting that this isn't being done
9 today--do your performance assessment and your modeling from
10 a variety of approaches, don't discard any scientist's notion
11 about how we might attack these questions, don't give up on
12 anything too early because you may need in order to get to
13 this clearest and most compelling showing later on in
14 licensing, the Department may need all of the modeling and
15 all of the help it can get. If you've got four different
16 modeling approaches or six or three or however many they're
17 going to have, and they all show that within a fairly
18 reasonable sense of comfort the ground water is going to
19 travel at more than 1,000 years, the release criteria are
20 going to be met, et cetera, et cetera, or even though the
21 ground water travel is less than 1,000 years, the release
22 criteria are going to be met, then you can make that clearly
23 and most compelling showing. But, if we have one model which
24 shows that Yucca Mountain passes and another model--and there
25 will be such a model in licensing, I guarantee it, from

1 somebody. Somebody is going to have a model showing that the
2 site flunks clearly, unequivocally flunks. And, if you've
3 got one balancing another, that's not reasonable assurance.
4 50/50 is not going to get you the licensing, I guarantee.
5 So, it seems to me it would be incumbent upon DOE to do all
6 the modeling they can, do the performance assessment as
7 widely as they possibly can at this point in time, so that if
8 they do have fast pathways, they will be able to at least
9 have a crack at meeting the clearest and most compelling
10 showing.

11 So, I guess I've talked about all of that stuff
12 already. The final analysis again then, the bottom line is
13 that you can license Yucca Mountain with a fast pathway, but
14 you need to get to this--in order to demonstrate to the
15 Commission's satisfaction reasonable assurance, you're going
16 to have to be able to meet the clearest and most compelling
17 showing standard if you have a pathway faster than 1,000
18 years.

19 That concludes my prepared remarks.

20 DR. DOMENICO: Thank you, Mal.

21 Now, I have one question. This is what I think I
22 heard from you and Michael and Steve. If the EPA criteria
23 are met or demonstrated to be met in model studies, this--I
24 think I heard--is this overrides the release from the barrier
25 criteria the NRC has put up, as well as the ground water

1 travel time. Is that a fair assessment of what I've heard
2 from you, at least? I don't want you to speak for the other
3 gentlemen.

4 MR. MURPHY: You mean, meeting the EPA criteria is the
5 ultimate test? You can flunk the ground water travel time,
6 you can flunk the Part 60 performance objectives or the
7 criteria--

8 DR. DOMENICO: I think that's what I heard.

9 MR. MURPHY: --and still meet the EPA standard and pass?
10 No, I think they're all independent. I think the NRC could
11 say, okay, your modeling demonstrates that you're going to
12 meet the EPA standard, but that's not good enough for us.
13 We've got to be satisfied that you've got slow pathways and
14 that you can meet our criteria. I'm talking about what will
15 happen in the regulatory context assuming that there are no
16 outside forces that come to play in this repository program.
17 I think the NRC could still say that--you know, you've got
18 to give us a little more comfort level than that.

19 DR. DOMENICO: So, you still consider it a disqualifying
20 condition?

21 MR. MURPHY: No.

22 DR. DOMENICO: Less than 1,000 years, that is?

23 MR. MURPHY: No, no. At that point, the NRC says go
24 further. Make this showing to us under the clearest and most
25 compelling standard that even though the water is traveling

1 faster than you had hoped it would and that maybe even though
2 there isn't quite as--you know, some other factors aren't
3 satisfied, you've got lots of retardation, you've got a foot
4 and a half of copper, and all sorts of other things like that
5 and you're still going to satisfy the ultimate release
6 criteria, and--

7 DR. DOMENICO: Well, that's what I thought I asked you
8 first that you said no. I thought I said if you meet the EPA
9 standard, it was overriding on the other. I think you said
10 they were all independent.

11 MR. MURPHY: No, the criteria are independent in order
12 to get to that ultimate--maybe I misspoke myself. In order
13 to get to that ultimate EPA standard, yeah--

14 DR. DOMENICO: Okay.

15 MR. MURPHY: --you have to look at all of these criteria
16 independently. But, remember, it's a level of confidence.
17 You can show that you meet the EPA standard, but the NRC
18 could say, okay, but you haven't shown us with that high
19 degree of confidence. We're not comfortable that there's
20 still too much uncertainty here, I guess is what I'm saying.

21 DR. DOMENICO: Questions from the Board?

22 DR. LANGMUIR: Mal, you referenced NRC's studies of '84-
23 '85, their documents on liquid and vapor transport. And, the
24 sense was that I got from what you quoted from the NRC regs
25 was they intended to mean water vapor transport. I'd like

1 them to clarify whether that's, in fact, what they were
2 limiting themselves to or they intended to talk about gaseous
3 radionuclide transport, as well as water vapor transport.
4 Would someone from NRC comment to that?

5 DR. BELL: Well, I'll start and then I'll let Dave pick
6 up. But, I think one of the things I would point out is you
7 need to look at the whole requirement, the fastest path of
8 likely radionuclide travel, and ask what radionuclides are
9 going to be traveling with water vapor. Tritium with a 12
10 year half-life, I mean, what--it just does not seem to me the
11 fact that you have water vapor being able to diffuse through
12 pores is, you know, contributing to a pathway of likely
13 radionuclide travel. One of the concerns is carbon dioxide,
14 I guess, migrating through the pores. Carbon dioxide will
15 migrate through bone dry air. In fact, it will migrate
16 slower if water is present because it will be--

17 DR. LANGMUIR: Yes, I'm aware of all this, but I
18 wondered if the language--I was interesting in whether the
19 language you used identified those radionuclides.

20 DR. BELL: You know, fastest path of likely radionuclide
21 travel is--it's important to keep it all together. And, that
22 also is true when you look at these other potential pathways
23 like flow through fractures and things like that. If you can
24 show, yes, there is a fast pathways through fractures, but
25 really not very much radionuclide transport takes place

1 because of that, then you could still meet 1,000 year ground
2 water travel time criteria even with this fast pathway that
3 isn't really contributing to transient water.

4 DR. DOMENICO: I think these are questions and
5 discussions that we should reserve for the latter part of the
6 day when we have our panel meetings. Does the Board have
7 anything further--I'm sorry, did you want to respond to that?

8 MR. MURPHY: Yeah, let me just respond to that quickly.

9 DR. DOMENICO: Sure.

10 MR. MURPHY: I don't disagree with the words Mike said,
11 that all of that is absolutely true. But, it does invoke, it
12 seems to me, if you have the--and, I still believe that
13 ground water includes vapor, as well as the liquid phases,
14 under the current language. It does invoke that clearest and
15 most compelling standard. That does mean that you're going
16 to have to have these multiple approaches and it seems to me
17 --and this is going to be talked about further by the
18 scientific and technical experts in the next day and a half--
19 it does in my mind, at least, mean that you can't come to the
20 NRC and meet the clearest and most compelling standard by
21 cutting off site characterization prematurely and going to
22 licensing with incomplete site characterization data and say,
23 trust us, we'll make a more clearer--the clearest and most
24 compelling showing 100 years from now after the end of our
25 confirmatory testing phase. It seems to me that's where the

1 impact comes on DOE's program. Sure, you can meet this
2 standard. You can invoke the "or such other" language and
3 you can clearly show that not enough radionuclides are going
4 to get out to hurt people, but you're going to have to do it
5 under that greater burden, and you're going to need lots of
6 data and complete data in order to do that, it seems to me.

7 DR. DOMENICO: Well, good, I think this is something we
8 can put down and we can be discussing a little bit later.

9 Is there any further Board questions to Mal?

10 (No response.)

11 DR. DOMENICO: Staff?

12 (No response.)

13 DR. DOMENICO; I have a few more minutes if anybody out
14 there has a question.

15 (No response.)

16 DR. DOMENICO: We declare a break, 15 minutes.

17 (Whereupon, a brief recess was taken.)

18 DR. DOMENICO: We have a change in schedule giving the
19 program overview of the ground water travel time assessment.

20 Now, this is the program overview. Instead of Claudia
21 Newbury, we're going to have Eric Smistad and that would be
22 the program overview of ground water travel time.

23 MR. SMISTAD: My name is Eric Smistad and I'm going to
24 be giving a very brief introduction to the ground water
25 travel time program and the working group.

1 The ground water travel time group is a subset or a
2 subgroup of the issue resolution organization. It's down
3 here. The group is comprised of myself as the DOE lead and
4 --I've got this backwards here--Les Berkowitz is the
5 regulatory lead, Jim Duguid is the technical lead. Sorry
6 about that guys; didn't mean to scare you. Rally Barnard is
7 out of Sandia and he's going to be doing the bulk of the
8 implementation of the approach. There are other resources.
9 The USGS, obviously, with their modeling components; Dwight
10 Hoxie is the main contact we have there. Los Alamos and the
11 M&O are also resources.

12 We've seen an awful lot of regulatory talk earlier.
13 So, I won't really dive into this too much. Just to point
14 out that the approach we have--and we'll see today--is based
15 on the DOE regulatory basis which is the 960 disqualifying
16 condition and the NRC regulatory basis, the ground water
17 travel time performance objective in 10 CFR 60. It's also
18 based on DOE and NRC definitions of the disturbed zone and
19 you will hear a little bit more about that with Jim and
20 company.

21 There's just a few key points I'd like to bring to
22 your attention. The detailed approach that you're going to
23 see today is just really recently been fleshed out. You saw
24 Jean Younker give a presentation in April which was not in as
25 much depth as you'll see today. But, basically, it's

1 remained unchanged from what Jean brought forward.

2 The determination of ground water travel time is
3 going to be an iterative process culminating in the final
4 iteration in calendar year '97 in time for the '98 TSS.
5 We'll have preliminary results mid-calendar year '95, the
6 first iteration we'll have in late calendar year '96, and
7 then the final iteration in late calendar year '97. Follow-
8 on Board meetings, we intend to bring forward the individuals
9 that are doing the detailed modeling to give you more insight
10 into how we're actually modeling ground water travel time.

11 And, that's all I have.

12 DR. DOMENICO: Thank you very much, Eric.

13 Then, the first discussion here will be by Lester
14 Berkowitz giving us the interpretation of the regulations and
15 calculational philosophy.

16 MR. BERKOWITZ: Good afternoon. I've been asked to talk
17 about the interpretation of the applicable guidelines and
18 regulations and how they get us to the approach that we are
19 taking to develop a methodology for evaluating ground water
20 travel time at the Yucca Mountain site. And, we believe that
21 that methodology has to be based on an interpretation of
22 DOE's guideline, NRC's performance requirement, and DOE and
23 NRC's definition of the disturbed zone. And, in preparing
24 for this presentation on Friday and after listening to Steve
25 and Mike Bell and Mal Murphy talk this morning, I decided

1 that I ought to share with you some things from Through the
2 Looking Glass because what we're really talking about is what
3 words mean.

4 We believe that in order for us to do a good job on
5 developing the methodology, the methodology has got to be
6 consistent with not just our own meaning of the guidelines
7 and the regulations, but the Commission's meaning of the
8 guidelines and regulations. And, we've had the benefit in
9 the last couple of months after the April TRB meeting of
10 sharing with the NRC in a letter that the Department wrote in
11 June, the Department views on the approach it was taking. As
12 Mal pointed out, the staff responded to that letter just a
13 couple of weeks ago. The staff's response was that they
14 agreed with DOE's interpretation, in part, and it saw the
15 need for further discussions with the Department in order to
16 make sure that it understood what the Department wanted to
17 do. And, we think that's good because that's exactly what we
18 have in mind. We believe that there's going to be a need for
19 a lot of doing and a lot of talking in order to make sure
20 that we're all on the same wavelength.

21 The thing that we're pleased about today is that in
22 developing this methodology, the Department and the M&O and
23 Sandia and the USGS are all working together to develop this
24 methodology and we think that this is a good thing and as it
25 should be. The interpretations that I will be presenting and

1 that Jim and Rally will be talking about are DOE's
2 interpretations. And, we understand what's clearly written
3 in NRC's regulations; namely, that only written
4 interpretations by NRC's general counsel are binding on the
5 Commission. Our job, we believe, is to tell NRC what we
6 propose and to do everything that we can to convince them
7 that that's the right thing to do.

8 Now, DOE has got to make an evaluation as to
9 whether or not this disqualifying condition is applicable at
10 the Yucca Mountain site. We think, DOE thinks, that its use
11 of the words "likely" and "significant" in the language of
12 this disqualifying condition provide the basis for its belief
13 that ground water travel time should be thought of as a
14 distribution and not as a single value parameter. NRC's
15 performance requirement contains similar language and, in
16 particular, it talks about fastest path of likely
17 radionuclide travel and it talks about such other travel
18 times as may be approved or specified by the Commission.

19 Now, what DOE advised the Commission in its letter
20 of June 10 was that its intent is to determine the
21 applicability of the disqualifying condition in 10 CFR Part
22 960 and, if the site is determined to be suitable, its next
23 objective would be to determine whether ground water travel
24 time at the site is in compliance with the requirements of
25 the Commission's subsystem performance requirement. We are

1 not at this time talking about the 60.113(b) approach.

2 When we looked at the definitions of the disturbed
3 zone in the Commission's regulation and in the Department's
4 guidelines--and when I say we looked at them, we tried to
5 look at the plain meaning of the words and we tried to look
6 at these things in the context of our understanding of their
7 physical site. We came to the conclusion that DOE's
8 definition of the disturbed zone and the Commission's were
9 almost identical and both definitions talk about the
10 disturbed zone constituting "that portion of the controlled
11 area the physical or chemical properties of which have
12 changed as a result of underground . . . construction or heat
13 generated . . . such that the resultant change of properties
14 may have a significant effect on the performance of the
15 geologic repository."

16 As I said earlier, we believe that the use of the
17 word "likely" in DOE's disqualifying condition means that
18 ground water travel time is a distributed parameter, not a
19 single value. And, when we looked beyond the plain meaning
20 of the disqualifying condition and we looked at NRC's site
21 characterization analysis, we found that our interpretation
22 was consistent with the staff's recommendation in the site
23 characterization analysis. We also believe that the use of
24 the word "significant" in DOE's disqualifying condition means
25 to us that some pathways and some travel times may not be

1 important to repository performance. They may not be
2 significant. And, in fact, evaluating the significance of
3 such pathways and travel times would also be consistent with
4 the staff recommendation in its site characterization
5 analysis.

6 And, the phrase that "such that the resultant
7 change in properties may have a significant effect on the
8 performance of the geologic repository in the definition of
9 the disturbed zone" implies to us that only disturbances and
10 changes in properties having a significant effect on post-
11 closure performance need to be considered in defining the
12 disturbed zone boundary and affect the extent of that
13 boundary. Now, Jim and Rally will be talking about what we
14 will actually be doing to go way beyond that and to actually
15 try to define the boundary. But, this interpretation of the
16 definition of the disturbed zone in our mind is consistent
17 with the staff's recommendation in the site characterization
18 analysis that the significance of changes on repository
19 performance should be ascertained and the delineation of the
20 disturbed zone boundary be based on those changes significant
21 to repository performance.

22 Now, these are DOE's interpretations and you've
23 heard Mike Bell and Mal Murphy interpret them in somewhat
24 different ways. But, for the time being, at least, these are
25 our interpretations and these lead us to the approach that

1 Jim and Rally will be describing this afternoon of the GWTT
2 methodology the Department is developing. And, that is that
3 ground water travel time is a distribution of water particle
4 transport times. It isn't single value. The second point is
5 that the methodology involves evaluating the significance of
6 changes in the chemical and physical properties of the
7 controlled area to define the boundary of the disturbed zone.

8 Next, the methodology that involves determining the
9 expected distribution from the disturbed zone boundary
10 through the unsaturated zone, and then, the saturated zone
11 from points below the repository horizon to the accessible
12 environment. That is that ground water travel time in our
13 mind takes into account water particle transport irrespective
14 of the hydrologic regime through which ground water might be
15 moving. And, that is also consistent with the Commission's
16 position in it's statement for consideration when it was
17 modifying the rules for use with unsaturated sites.

18 Next, the methodology involves evaluating the
19 significance of short travel times, those that might be less
20 than 1,000 years, in the event that they are part of the
21 distribution. This evaluation of the significance of changes
22 in properties and the significance of short travel times will
23 be based on the assessment of the performance of the system
24 as a whole.

25 And, finally, because the methodology is

1 performance assessment based, DOE's approach to developing
2 the methodology and to using it will be iterative. Eric's
3 schedule that he presented just a couple of minutes ago
4 indicates that. That in about a year, we will have
5 preliminary results. A year beyond that, we'll have our
6 first iteration and the second iteration should be available
7 towards the end of calendar year 1997.

8 That's all I would like to have to say.

9 DR. DOMENICO: Well, thank you, Lester. I think you've
10 addressed the answer to our fifth question that we asked
11 here; when we have calculated, how do we interpret the
12 results? As I understand then, you're going to focus in on
13 ground water travel times of less than 1,000 and work out
14 what the means in terms of performance. I presume you will
15 look at ground water travel times in excess of 1,000 that
16 will also be part of the performance. But, I guess, if you
17 could make it for less than 1,000, you're pretty much assured
18 to make it for greater than 1,000. Is that philosophy--

19 MR. BERKOWITZ: Yeah, I mean, part of the thing that's
20 driven us is that there has been concern, real or imagined,
21 that if any value of ground water travel time is determined
22 to be less than 1,000 years, the world would come to an end.
23 When you think of the physical characteristics of the Yucca
24 Mountain site, or of any other site for that matter, the
25 conclusion that you have to come to is that ground water

1 travel time is going to be a distributed parameter. If it's
2 a distributed parameter, then the values that may be
3 determined will cover a range. Depending on how much
4 uncertainty there is, the range might extend below 1,000
5 years. Then, you have to ask yourself the question what does
6 that mean? How important is that? Is that real and
7 significant? And, the conclusion that we've come to is that
8 in order to make that determination, we have to develop the
9 methodology and do the kinds of evaluations that generally
10 you're going to be talking about later on.

11 DR. DOMENICO: My question and maybe it shouldn't be
12 directed to you; maybe it should be to the following--

13 UNIDENTIFIED SPEAKER: Yeah, I think we'll cover it.

14 DR. DOMENICO: Okay. Then, is there any questions from
15 the Board? John?

16 DR. CANTLON: With this late calendar year '97 target
17 date and trying to derive a system from a total system
18 performance, how much real heating data are you going to have
19 to fit into this system to get a performance based assessment
20 of what the heating effects are going to be on radionuclide
21 retention, for instance?

22 MR. BERKOWITZ: I'd like to defer that one to Jim and
23 Rally.

24 DR. CANTLON: Well, if you're going to talk to it, why,
25 I'll wait.

1 MR. BERKOWITZ: We'll wait and--

2 DR. CANTLON: All right, fine.

3 DR. DOMENICO: Thank you. Any further Board questions?
4 Ed?

5 DR. CORDING: This might be a question that we need to
6 consider later on, as well; I don't know. But, I'm just
7 wondering at this point what the boundary of the disturbed
8 zone is thought to be? I mean, I can see the boundary of the
9 disturbed zone having almost nothing to do with whether or
10 not, you know, you take that as a start of the ground water
11 travel, from that to the accessible environment, and the key
12 is where it starts, you know, at its source. And, you can
13 talk about thermally prepared environment in which small
14 changes can occur out to large distances, but you can also
15 look at conditions where the largest changes are within a few
16 meters of the tunnel and everything else at that point is
17 probably not--may not be very significant in terms of the
18 flow path, as long as you take into some account possibly
19 some of the physical changes, but that may occur out further
20 distances. To me, it's something that doesn't fit very well
21 with what's really going to happen in the mountain and may be
22 somewhat an artificial constraint that's been built into this
23 regulation.

24 DR. DOMENICO: Well, I think we should have the
25 advantage of Jim's presentation before Jim gives us his

1 answer.

2 MR. BERKOWITZ: Well, if I may, I would like to say
3 this. The approach that we're trying to take is one where
4 we're doing what we can to evaluate the extent to which the
5 disqualifying condition in 10 CFR 960 is applicable and to
6 determine whether we comply with the existing subsystem
7 performance requirement. Now, that's the basis for the
8 proposed program approach that the Department has presented
9 to the Board. We're not here to talk about what we're doing
10 to convince the Commission that it should come up with an
11 ultimate performance requirement or anything like that. Our
12 focus is on trying to live with the current guidelines and
13 the current Commission regulations. That's where we're
14 coming from and that's what Jim and Rally will be talking
15 about later this afternoon.

16 DR. DOMENICO: Any further Board questions?

17 (No response.)

18 DR. DOMENICO: Staff?

19 (No response.)

20 DR. DOMENICO: Well, we're on time. So, I presume we
21 should go forward and hear what's been promised we're going
22 to hear now. We're going to hear about the calculation
23 approach. This is Jim Duguid giving the presentation.

24 DR. DUGUID: I don't think I've ever been so well set up
25 in my life, but we'll see what I can do with it.

1 Now, as you've already heard and it's been implied,
2 we've been working on this approach for some time and the
3 work on the approach was the basis for Jean Younker's
4 presentation back in April. It was the basis for the letter
5 to NRC and, along the way, we have refined that approach to
6 the point we're now able to share it with you. I might add
7 that the last page of your handout has a flow chart that if
8 you tear off and turn up on the table, it might help you
9 follow the presentation a little. I won't try to show that
10 as a viewgraph because it's very busy.

11 The outline of what I'm going to say, first, I'm
12 going to talk about what causes the ground water
13 distribution; the domains that we have to consider. Then, I
14 will show three sections on the approach to the various
15 domains that we're considering; the disturbed zone, the
16 unsaturated zone, and the saturated zone. I'll talk about
17 the total ground water travel time distribution.
18 Determination of significance of pathways; should we find
19 pathways that are less than 1,000 years? Then, I will
20 discuss a bit about, we're putting a lot of effort in this,
21 "Is travel time the only thing we're getting out of it?"
22 And, I'll show you a proposed schedule.

23 The travel time distribution is caused by
24 heterogeneity of flow and transport properties, variability
25 of percolation flux, dispersion and matrix diffusion along

1 the flow path. It is also caused by the areal extent of the
2 disturbed zone and the particle entry points on the water
3 table. In other words, when we're at the accessible
4 environment, we're not far enough from the repository so that
5 it looks like a point source. We also must remember that
6 there's an areal extent of the accessible environment. The
7 distribution is also caused, in part, by the uncertainty in
8 boundary conditions, conceptual flow models, and parameters.

9 The domains that we are considering: the disturbed
10 zone, the volume in which post-closure repository-induced
11 changes have a significant effect on performance; the
12 unsaturated zone, between the disturbed zone and the water
13 table; the saturated zone, between the area of the water
14 table below the repository and the accessible environment.

15 The approach to the definition of the disturbed
16 zone, I will walk you through these bullets and then I will
17 talk to each one of these points in detail. First, we define
18 the potential for repository-induced changes. We evaluate
19 the repository-induced changes. We evaluate the effects of
20 these induced changes on transport properties. We evaluate
21 the consequences of the altered transport parameters on
22 performance. And, here's something that comes up that you
23 haven't heard today; we develop criteria to determine
24 significance of those consequences. Based on those criteria,
25 we can then determine the extent of the disturbed zone.

1 Going into detail on each one of those points, we
2 only consider changes that may have an effect on post-closure
3 repository performance, i.e. radionuclide transport. The
4 parameters that we need to look at; hydraulic conductivity,
5 retardation, percolation flux. Processes affecting transport
6 parameters; mechanical and thermomechanical, hydrothermal,
7 thermochemical which are broken down into mineralogical,
8 dissolution/precipitation, and Eh/pH.

9 Evaluation of repository-induced changes, we
10 conduct mechanical, thermomechanical, and hydrothermal
11 analyses to determine physical changes caused by construction
12 and heat, and the volumes in which they occur; temperature,
13 stress strain, moisture content, and percolation flux. We
14 conduct analyses to determine the geochemical changes caused
15 by construction and heating, and the volumes in which they
16 occur; mineralogical, dissolution/precipitation, Eh/pH. Now,
17 as you look at these, I think you know that the upper group
18 is much more a calculational group of items. The bottom
19 group on the geochemical changes, we have less calculational
20 tools down here. We have some laboratory values, we have a
21 few models, but a lot of this is going to be expert judgment
22 for the geochemical aspects. So, there's a little more
23 uncertainty in the geochemical side of this.

24 Evaluation of the effects of repository-induced
25 changes on transport parameters, we need to determine the

1 zones of altered hydraulic conductivity, percolation flux,
2 and retardation: effects of mechanical and thermomechanical
3 changes on fracture aperture and matrix porosity; effects of
4 temperature on moisture content and percolation flux; effects
5 of geochemical changes, fracture aperture, porosity, and
6 radionuclide retardation.

7 Then, we conduct performance assessment using
8 altered transport parameters and their associated incremental
9 volumes. And, here, like Humpty-Dumpty, I must define
10 incremental. What I mean here is that this is a gradational
11 change and we will go out in some sort of an increment to
12 define these volumes, like a 50% change, a 40, and on out
13 where it's small enough that we don't have to consider it or
14 at least we think we're at that point. Determine the
15 incremental change in cumulative release to the accessible
16 environment or dose to an individual at the accessible
17 environment. In other words, we're defining the effects of
18 these transport parameters on performance. Conduct
19 sensitivity analyses to evaluate the effects of uncertainty
20 on the range of performance. We've got a big uncertainty in
21 the size of this disturbed zone. You'll see how that comes
22 in in a moment.

23 We need a yardstick of some sort to determine
24 whether a change in performance is significant. This is
25 another place that we will likely use expert judgment. We

1 need some set of criteria to apply to this changed
2 performance to determine if it's significant so that we can
3 set that boundary of the disturbed zone. Example criteria;
4 remember, we haven't done this yet. Here are a couple of
5 examples. An increased change of some percentage in mean
6 integrated release or mean dose to an individual. We could
7 also have some percentage of the standard deviation of these
8 two performance measures.

9 Once we have this yardstick, we can apply it to
10 determine whether the consequences are significant. If they
11 are, they define the boundary of that disturbed zone. And,
12 what I didn't show here is the sensitivity analyses and,
13 remember, there's a lot of uncertainty because we don't know
14 the thermal loading of the repository. That hasn't been set
15 yet. So, we're going to have to do this for different
16 thermal loadings and define a range of possible extent. In
17 other words, like we did in '86, we guessed at 50 meters.
18 What we need is some documentation to back up the size of
19 this zone. It will still be pretty crude after we do the
20 documentation, but it will at least have a basis for where we
21 set the disturbed zone. I think at the end of both
22 computations, we'll be somewhat better than guessing on the
23 first iteration, we will at least have some basis, and I
24 think depending on thermal loading, the size of the disturbed
25 zone may limit the temperatures you can run the repository

1 because you may, as has been pointed out by some of these
2 disturbances, go out far enough that you will have travel
3 times that would be less than 1,000 years.

4 Our approach to the unsaturated zone, we'll
5 evaluate flow paths using deterministic models; select flow
6 paths for stochastic analyses based on those deterministic
7 models and the flow paths will be one-dimensional columns or
8 two-dimensional cross sections depending on the type of flow
9 that we see. Some of the flow as Bodvarsson is starting to
10 show with the scale model is truly two-dimensional. In some
11 places in the mountain, we can get away with one-dimensional
12 columns. We will probably use both. Develop travel time
13 distributions using the stochastic models; conduct
14 sensitivity analyses on the columns and cross sections; and I
15 show a brief schematic example and I'll walk through each of
16 these.

17 For our deterministic modeling, we will initiate
18 flow paths from discrete locations corresponding to the
19 repository as an initial cut; evaluate travel times along
20 flow paths; and conduct sensitivity analyses of travel time
21 and flow paths. We will look at the sensitivity to the
22 properties of faults, spatial variability in percolation
23 flux, conceptual flow models, spatial heterogeneity in
24 material properties, and spatial averaging of flow
25 parameters. What I mean by this last one is that we're

1 scaling up the parameters from core size to model grid blocks
2 that are on the scale of tens to hundreds of meters. We need
3 to do some numerical tests to see if the input of the
4 heterogeneity in the model really makes a difference. Or can
5 we use simpler models in a stochastic mode and get similar
6 distribution?

7 We use the results of the sensitivity analyses to
8 select the representative columns and cross sections between
9 the repository and the water table, and each column and cross
10 section, based on its location, has representative
11 properties; stratigraphy, percolation flux, and property
12 distributions.

13 Using the stochastic models, we conduct multiple
14 realizations of travel time at each selected location,
15 whether it be a column or a cross section, for each parameter
16 set to produce travel time distributions. Evaluate the
17 sensitivity to conceptual flow model; we have four we can
18 apply and I think we need to talk about all of them and look
19 at all of them and understand why or why not we consider
20 them. The models are equivalent permeability, dual-porosity,
21 dual-permeability, and discrete fracture. I would imagine
22 with a bit of work we can throw out the discrete fracture
23 model. That's probably the easiest one to eliminate. Flow
24 and transport properties, we'll look at that sensitivity.
25 Percolation flux, stratigraphy is fairly uncertain--it's only

1 certain if we happen to have a drill hole on the particular
2 column we're looking at and that won't happen very often--and
3 correlation among parameters. In other words, what we're
4 doing with the stochastic models is looking at the
5 sensitivity and uncertainty to generate the whole unsaturated
6 zone distribution of ground water travel time and try to
7 convince somebody that we understand that entire
8 distribution.

9 My schematic example, I have some breakthrough
10 curves which is just a schematic of breakthrough curve that
11 shows you clearly why you get a distribution. At any percent
12 of particle arrival, as you go across this, you obviously get
13 a distribution of travel times and this only represents a few
14 realizations. If we were running a stochastic model, we'd
15 probably run 100 and we'd have some distribution for any line
16 we go across there. And, I just threw that in to point out
17 why you get the distribution.

18 Approach to the saturated zone travel time: we
19 evaluate site-scale boundary conditions using a regional
20 deterministic model; we analyze flow paths using a
21 deterministic site-scale model; then, we evaluate travel
22 times along those flow paths using stochastic models, very
23 similar to the unsaturated zone only we have the added
24 wrinkle in here that we have to go out to a regional
25 deterministic model to set our site-scale boundary

1 conditions.

2 We conduct analyses using the regional-scale model
3 to test different hydrogeologic conceptual models.
4 Conceptual models that I discussed before were the flow
5 models. These are the hydrogeologic models. In other words,
6 what model, general hydrogeologic model of flow causes the
7 steep hydraulic gradient? There are several proposed models
8 for that. You want to look at both and see how it changes
9 the boundary conditions for the site-scale. Develop site-
10 scale boundary conditions for each of the conceptual flow
11 models, those conceptual hydrogeologic models.

12 Then, we analyze flow paths using deterministic
13 site-scale models to evaluate the effects of parameter
14 distributions and uncertainties on flow path direction and
15 travel time. Location and type of boundary conditions;
16 geometry and properties of faults; flow conceptual model,
17 fractured continuum, equivalent continuum; transport
18 parameters, dispersion, matrix diffusion. Select
19 representative flow paths for stochastic analysis. Because
20 most of the site-scale models are too large to run in the
21 stochastic mode, we need to select the important flow paths
22 then analyze them with a simpler stochastic flow model, one
23 that we can do a lot of realization with to test all of the
24 sensitivities of the various flow models and parameters.

25 Conduct the multiple realizations from points on

1 the water table below the repository to the accessible
2 environment. And, we want to investigate the uncertainties
3 with conceptual flow model, flow and transport properties,
4 correlation among parameters, and boundary conditions.
5 Conduct sensitivity analyses using one-dimensional stochastic
6 models along selected flow paths. This last bullet, we may
7 or may not be able to do. We may find that there's such a
8 fluctuation in the direction and length of flow path as we
9 changed parameters that it doesn't really make sense to use a
10 one-dimensional stochastic and they may be all two
11 dimensional in the saturated zone.

12 Now, with those analyses, we have two buckets of
13 travel time distribution, sensitivities and uncertainties,
14 and we have more distributions than we know what to do with
15 by the time we get through the sensitivity and uncertainty
16 analyses. We need to talk about the total travel time
17 distribution. We convolve the travel time distributions for
18 the unsaturated and saturated zone considering the;
19 conceptual flow models, parameters variability and
20 uncertainty, correlation among parameters--now this is across
21 the water table--and location. Somehow, it doesn't make
22 sense not to take a one-dimensional column and start the
23 particles in the saturated zone at the end of that column.
24 So, location should be considered. One of the simplest ways
25 to look at this--and some of these may not convolve directly

1 or mathematically. In other words, if you have a different
2 conceptual flow model in the unsaturated zone and the
3 saturated zone, I'm not sure that they convolve directly.
4 One of the simplest ways would be to take the short travel
5 time in the unsaturated zone, simply add the short travel
6 time from that location in the saturated zone, and if they're
7 greater than 1,000 years, you don't have to worry too much
8 about it. If we start having a lot of distribution that are
9 less than 1,000 years, we'll have to worry about this
10 convolution a lot because we need to look at the effects of
11 the different convolution schemes on short travel time.

12 Now, once we have these short travel times, should
13 some occur, I expect that these short travel times would not
14 be the expected value of a distribution at the Yucca Mountain
15 site, but they would be the tails of the distribution. And,
16 I agree with the NRC that if you have a likely travel time
17 that's less than 1,000 years, and in other words something
18 like the expected value, that that is significant and it
19 would be. But, we're more likely talking about the tails
20 that are less than 1,000 years. We will look at those tails.
21 We have significance criteria that we developed earlier, we
22 can look at the significance of those tails. Now, if you
23 consider the tail of the short travel times, do the
24 performance assessment, find the consequences, and see if
25 they're significant.

1 Now, I just showed you a large body of work that is
2 going to take about three years and you ask yourself is it
3 worth it. And, what we get out of this, the primary products
4 out of these analyses, we get an uncertainty analysis of
5 aqueous flow at Yucca Mountain. A subset of that is ground
6 water travel time. We get sensitivity analyses of aqueous
7 flow at Yucca Mountain. Those feed right back into the site
8 characterization program. We get analyses of ground water
9 flow uncertainty applicable to post-closure performance for
10 low thermal loads or long times. In other words, if you have
11 a cold repository or if your standard goes out to long times,
12 this whole set of travel times applies to performance
13 assessment.

14 Our proposed schedule--and, here, I want to only
15 point out about three things on this schedule. As you might
16 guess, the schedule is somewhat uncertain. I have shown you
17 an approach that we haven't been through yet and I'm sure, as
18 we go through it, we'll modify it here and there. I think
19 the gist of the approach will stay the same. But, there are
20 three dates and they've also been pointed out. We will have
21 preliminary results by 9/95. In those preliminary results,
22 we will not have a disturbed zone. We will have looked at
23 significant criteria. We will look at the disturbed volumes,
24 but we will not have applied that to put a disturbed zone in
25 the model. So, the preliminary results there will just be

1 the raw travel times excluding a disturbed zone.

2 In the next year, we will begin to define the
3 disturbed zone. We will do the first iteration of ground
4 water travel time and we will start to look at the
5 significance of short travel times or the ones that are less
6 than 1,000 years and we will put out a report at the end of
7 the first iteration. This report will contain all of the
8 work from here right on through and will be widely circulated
9 for comment so that everybody can take a good shot at our
10 methodology, tell us how we could improve it, tell us what
11 doesn't make sense. Then, we'll start with those comments,
12 do it all again, and come up with the second iteration in
13 9/97 for input to the site suitability report. So, we'll go
14 back through our definition of the disturbed zone in that
15 one. In the first iteration, we should get a pretty good
16 handle on what sort of data we'd like to have in here which
17 makes a lot of feedback loops in the characterization.

18 Thank you. That was pretty quick, but that, in
19 essence, is how we will approach it. And, the hardest part,
20 and it looks like to me the most uncertain part, is the
21 disturbed zone. But, I think based on our approach we can
22 get some sort of defensible handle on it.

23 DR. DOMENICO: Thank you. I think you just tried to
24 diffuse Don Langmuir who has a question on that. I'm sure

25 DR. LANGMUIR: I had a more fundamental question. I

1 have the sense that given you want to do this in three years,
2 which curiously fits right into the 1998 suitability
3 decision, that somehow expert judgment being used is a moving
4 input--

5 DR. DUGUID: Yes.

6 DR. LANGMUIR: --and that if you can't get data or don't
7 have data, we bring in the experts to guess what we should
8 find if we had the time and the money and took the time to
9 learn some things about the site.

10 DR. DUGUID: No, I said--that's true, yes.

11 DR. LANGMUIR: And, I worry about defending this--

12 DR. DUGUID: We have to repeat it. And, really, what we
13 want from the experts on the expert judgment, there are two
14 things on the geochemical side. We really want the experts
15 to take the laboratory analysis that they know about and
16 whatever else in geochemistry that they know that might help
17 them with the temperature regimes you might see and estimate
18 the volumes where geochemical changes might take place that
19 would affect retardation, Eh/pH, or hydraulic conductivity.
20 And, that is pretty crude, but there's a bit of site data out
21 there; some of the increased hydraulic conductivity from the
22 heating of core, some of the mineralogical changes in
23 zeolites. So, there's a little bit of data. There's not
24 near the basis I'd like to have, but we'll have to initially
25 work with what we've got and that will give us a better idea

1 when we come through the second iteration what we really
2 should be looking for and maybe some areas that we are
3 missing a lot of data.

4 DR. LANGMUIR: One has to assume that there will be very
5 large uncertainties attached to the results of such an
6 analysis and the more expert judgment you have to use without
7 data providing information for the experts, the larger that
8 uncertainty is going to be. I presume Rally will be
9 presenting us an example of this with uncertainties later on.

10 DR. DUGUID: It depends on how big the disturbed zone
11 starts to get. And, I think that the disturbed zone for any
12 reasonable repository loading--and, you're going to ask me
13 what reasonable means in a minute--that the disturbed zone is
14 pretty small. I also firmly believe that the geochemical
15 changes probably extend the furthest out from the repository
16 where the mechanicals from construction are probably the
17 smallest ones, thermomechanical being next, and then
18 geochemical extending further out. And, those will be the
19 hard ones. If we find that the disturbed zone where we can
20 bound it doesn't make a lot of difference on the calculation,
21 then we're in pretty good shape. If it starts to make a lot
22 of difference, then we'll need a better definition of it.
23 So, the more difference it makes, the more you need to know
24 about it in other words. I can't tell you now how that's
25 going to turn out. After we get some insight in that

1 preliminary work, we might have an idea. And, as I said
2 earlier, as you start to look at this disturbed zone, there
3 may be some repository loadings that get thrown out because
4 of how big the disturbed zone might get. So, there are a
5 number of feedback loops in there.

6 DR. CORDING: Your assumption is that the--I mean, there
7 might be a significant flow time through the disturbed zone
8 itself, but you're basically--I mean, you're looking for
9 criteria that says we have to take it from the outside of
10 whatever you define as the disturbed zone as a conservative
11 estimate?

12 DR. DUGUID: Right, whatever you define. And, as you do
13 the travel time with the stochastic models, that is not a
14 fixed, firm boundary because that has uncertainty. So,
15 that's one of the sensitivities that you're going to look at
16 in those stochastic travel times, the starting point of the
17 party.

18 DR. CORDING: Are you also looking at the thermal
19 effects on the actual--actually driving the flow, even though
20 there's no geochemical or thermomechanical changes in the
21 medium, there can be temperature changes that will drive
22 fluid flow and there's nothing--you haven't done anything to
23 the medium except impose a driver--

24 DR. DUGUID: That's right. But, we are interpreting the
25 disturbed zone to only mean a permanent change in properties

1 that affect long-term performance. And, the fluid flow is
2 more or less a temporary change because the thermal pulse is
3 over. It's similar--if you looked at some of the
4 calculations that we presented--I don't know whether we
5 presented enough of them here--where we showed that if you
6 consider the release from the waste package at zero time and
7 100,000 years, all you've done is move the dose peaks over
8 and that 100,000 years is well within any thermal pulse you
9 might have. So, a thermal pulse that took place in 100,000
10 years wouldn't affect the height of that peak. So, it
11 wouldn't be significant.

12 DR. DOMENICO: Jim, if we didn't have a ground water
13 travel time regulation and we only had the EPA meet a
14 standard, would you do this?

15 DR. DUGUID: We'd have to do most of this material
16 anyway is my view.

17 DR. DOMENICO: How many permeability values do you need
18 for a stochastic analysis?

19 DR. DUGUID: I need to--

20 DR. DOMENICO: As many as you can get.

21 DR. DUGUID: Yeah.

22 DR. DOMENICO: How many do you need in your PA models
23 which are constant velocity models, I believe, right?

24 DR. DUGUID: No. In our stochastic model, we will
25 select--we will be running from ranges of parameters. So, at

1 each realization, you will pick a parameter; a set of
2 parameters to run the realization.

3 DR. DOMENICO: So, what you're saying is all the
4 information you're getting in for this is convertible
5 directly to your performance assessment?

6 DR. DUGUID: Right. The only thing that you wouldn't be
7 doing in that performance assessment is defining the
8 fictitious boundary. And, that fictitious boundary, you
9 would have to do a lot of the geochemical work anyway to feed
10 into the total system performance assessment to understand
11 the behavior when the waste packages fail.

12 DR. DOMENICO: I see your last slide, is travel time the
13 only product? Well, I think, kind of, it is. These are
14 mostly--mostly the other products deal with the mountain, how
15 it behaves in the absence of any thermal load. So, it's--

16 DR. DUGUID: Uh-huh, uh-huh. Yeah, you're going to
17 learn a lot on the behavior of flow through the mountain.
18 That's probably going to be the biggest thing. You'll start
19 to understand the sensitivities of that flow to certain
20 conceptual models and hydrogeologic concepts.

21 DR. DOMENICO: My last question here is why is
22 dispersion and sorption--why are these important parameters
23 in ground water travel time? We're not talking about moving
24 the contaminants now. We're talking about what we all know
25 is a Darcy sort of velocity.

1 DR. DUGUID: Because we view the water travel time to be
2 a transport phenomena. So, we're looking at the transport of
3 water particles.

4 DR. DOMENICO: And, the transport of water particles are
5 going to sorb into the matrix driven by what the concentration
6 gradient--

7 DR. DUGUID: No, not sorb, but diffuse--

8 DR. DOMENICO: Diffuse--

9 DR. DUGUID: Diffuse into a slower path is all.

10 DR. DOMENICO: What's driving that if it's water? I
11 just have a hard time coupling how ground water travel time
12 has been defined which is Darcy flow with--

13 DR. DUGUID: Yes. But, that's the way to think of it is
14 the water particle transport without chemical retardation.

15 DR. RALSTON BARNARD: It gets a little contorted, Pat.
16 But, admittedly, nobody will deny that ground water travel
17 time, you're talking about pure water being moved and so the
18 concept of sorption is a little difficult to add in there.
19 But, the point is that when you talk about paths which are
20 likely and significant--and, I'll put the accent on
21 significant here--for radionuclide transport and thus
22 repository performance, then in that case sorption does enter
23 into it.

24 DR. DOMENICO: Nobody disagrees with that.

25 DR. RALSTON BARNARD: But, that's the only way that we

1 are planning to actually include any aspect of sorption.

2 DR. DOMENICO: So, it's part of your PA study, not
3 necessarily this.

4 DR. RALSTON BARNARD: It's part of the PA, that's right.

5 DR. DOMENICO: Thank you.

6 DR. RALSTON BARNARD: That's right.

7 DR. DOMENICO: Do we have any further Board questions?

8 DR. LANGMUIR: Having done a lot of modeling myself, but
9 not anything quite as grandiose as this which you'll quickly
10 find out as you obviously know, is that there are some
11 parameters within your models that are very sensitive to how
12 well you know them. And, I wonder whether you've got any
13 flexibility, at all? If you're going to have results in
14 "three years" and say something about suitability and travel
15 time, you're clearly going to find out certain things that
16 you've suggested are really important in this whole
17 discussion. What's the cause of the steep hydraulic
18 gradient, for example, north of the site? Are you in a
19 position to be able to recommend additional site
20 characterization work if it seems appropriate to reduce your
21 uncertainties which well may take more than three more years
22 as part of your analysis and the development of your results?

23 DR. DUGUID: Yes. And, I think you would do that and it
24 depends on how uncertain you really are as to--you know,
25 you're going to go forward with a safety analysis, but you'd

1 want to start those site characterization efforts, so that
2 when you're doing this in licensing and further down the
3 road, you would definitely have more information if they turn
4 out to be really important.

5 DR. DOMENICO: You mentioned the uncertainty with the
6 size of the disturbed zone. I have a question for you. You
7 know, right now, you can ask the question what size disturbed
8 zone do I need to assure failure at ground water travel times
9 less than 1,000 years? You'll give a number?

10 DR. DUGUID: It's somewhere about the water table.

11 DR. DOMENICO: Somewhere about the water table, okay.

12 DR. DUGUID: Because the saturated travel times are
13 running, you know, 900 to 1200 years in the deterministic
14 modeling with--and, those had major diffusion in them, didn't
15 they?

16 DR. RALSTON BARNARD: And, dispersion.

17 DR. DUGUID: And, dispersion. So, it's about the water
18 table. So, once you get a disturbed zone going all the way
19 to the water table, you're history probably or pretty close.
20 But, I don't know; as we define the travel time in the
21 saturated zone, I think they'll get somewhat longer.

22 DR. DOMENICO: You think so?

23 DR. DUGUID: But not--they won't double.

24 DR. LANGMUIR: One last one from me. If, in fact, the
25 disturbed zone going to the water table might disqualify the

1 site, doesn't that immediately tell you you don't want a high
2 thermal loading?

3 DR. DUGUID: That's right and that's a feedback loop,
4 also. And, as I said, some of the thermal loadings, as you
5 look at some of these disturbed zones, may start to
6 disappear.

7 DR. DOMENICO: Vic?

8 DR. PALCIAUSKAS: There is a very strong implication
9 that you'll be able to evaluate the effects of, let's say,
10 thermal loading on the physical properties like the hydraulic
11 conductivity. And, in my experience, that's an extremely
12 delicate subject.

13 DR. DUGUID: That's very uncertain. We will be--

14 DR. PALCIAUSKAS: And, you're starting with the most
15 difficult part first, it seems.

16 DR. DUGUID: That's right. We will be able to look at
17 some of the effects of the thermal loading on fracture
18 aperture, but then relating that to hydraulic conductivity is
19 no easy feat, as you know. So, there's going to be a lot of
20 uncertainty there. But, as you look at some of the fracture
21 aperture change from the thermomechanical models, those don't
22 extend too far out. That is going to be--probably the
23 thermomechanical one, you can almost neglect because the
24 sensitivity of our tools--you have to remember that the
25 performance assessment tools that we're using to evaluate

1 significance with aren't very sensitive. It takes a pretty
2 good change--you have to have pretty good change to make--you
3 have to have somewhere in the neighborhood of a factor of 2
4 to start seeing it, start seeing the change with the
5 crudeness of the tools you're applying. And, you start
6 subtracting off of a 250 meter unsaturated flow path, you
7 start to subtract off, you know, 25, 50, 60, 70 meters, you
8 should start to see it somewhere in the latter parts of that.
9 But, you know, the first 25 meters, you're probably not
10 going to see the change.

11 DR. DOMENICO: Bill, did you have a question?

12 DR. WILLIAM BARNARD: Jim, how realistic is this
13 proposed schedule that you've laid out?

14 DR. DUGUID: I think it's going to be a lot of work and
15 I think we'll have something at the end of it but I think
16 it's doable. If we run into some brick walls in there, it's
17 not; if we get some real surprises. But, most of the tools
18 are starting to be in place. You've heard from Bodvarsson on
19 the unsaturated zone site model. That's going to guide the
20 unsaturated zone selection of where you do stochastic
21 analyses. We are probably a little further behind in the
22 saturated zone in one sense because the models aren't up to
23 the state that Bo is, but we know a lot more about saturated
24 zone modeling. So, we're better off there and we can catch
25 up pretty quickly. So, I think we'll make it. And, we

1 should know by the end of '95 when we start to look at the
2 results that we have at that time. We should know where the
3 real problems are going to be.

4 DR. DOMENICO: John?

5 DR. CANTLON: Let me pursue my schedule question. It's
6 an extension of Bill Barnard's question. As I look at the
7 '98 site suitability determination, you're not going to have
8 very much heating data for that determination.

9 DR. DUGUID: That's right. Most of this is going to be
10 calculational. There's not going to be much confirmatory
11 information on it.

12 DR. CANTLON: Now, let's crank you up one further. You
13 got a license submission date, 2001. How much actual heating
14 data are you going to have when you go into that?

15 DR. DUGUID: We'll start to have some preliminary
16 results by then out of the draft, but not very much.

17 DR. CANTLON: How long will it take you to crank the
18 data in?

19 DR. DUGUID: It shouldn't take that long because we will
20 have used the thermal models and the thermomechanical models.
21 In other words, you just have to put the new data in and run
22 it unless you start seeing things that we haven't predicted
23 in the model.

24 DR. CANTLON: Exactly.

25 DR. DUGUID: And, that's--yeah. Understand that the

1 temperature--probably, the temperature calculations are the
2 most certain ones we do. The rest of them get more
3 uncertain.

4 DR. DOMENICO: Further questions? Anybody?

5 (No response.)

6 DR. DOMENICO: Well, thank you, Jim.

7 We'll go to our last speaker before the discussion.
8 Ralston Barnard will inform us how they're going to
9 implement all this stuff.

10 DR. RALSTON BARNARD: I'm going to kind of try to wrap
11 things up by giving an illustration and discussion of the
12 work that we've been doing at Sandia Labs for the past year.
13 I'm just the spokesman for this. There's quite a large team
14 working on the ground water travel time and, in addition to
15 the people listed there, we have some new people added to our
16 team. So, we're attempting to move forward smartly.

17 What I'm going to talk about is the implementation
18 of the calculational approach which Jim just finished
19 discussing for both the unsaturated zone models and saturated
20 zone models. And, to do it, I'm going to talk about the
21 current work that we've just about completed for the year.
22 What this represents is the first stage of a ground water
23 travel time analysis strategy. And, we have calculated this
24 year an unsaturated zone fast path flow result including some
25 sensitivity studies, but what we have not done, as Jim

1 pointed out quite clearly, is included a disturbed zone in
2 this. We have not yet been able to define it. So, we don't
3 have one. And, what I want to emphasize again for John's
4 benefit, as well as others, that we are using the best
5 available data. That's all that we can do. Our models can
6 use literally any amount of data. So, as we get more, the
7 models will improve.

8 Well, to review for just a second what our analysis
9 method is, we want to look at water particles and we want to
10 transport them through the unsaturated and saturated zone to
11 see whether the distribution of particle transport times
12 meets the criteria and the regulations. Our transport is
13 modeled by advection and molecular diffusion and, as we
14 discussed momentarily ago, no particle retardation is
15 included. In the unsaturated zone, we consider dispersion,
16 mechanical dispersion, to be modeled by variations in the
17 parameters of the models. In the saturated zone, we use an
18 explicit parameter for dispersion. Advection, of course, is
19 the most important aspect of transport and so we used ground
20 water flow transport models in both the unsaturated and
21 saturated zone to model that. And, what we find is that the
22 models are sensitive in the unsaturated zone to the degree of
23 saturation. The amount of fast path fracture flow that you
24 get is quite sensitive to the saturation.

25 And, we are attempting to generate areas of local

1 saturation by looking at heterogeneities in materials'
2 properties and in other parameters of the models. The
3 heterogeneities arise because of variations in thickness of
4 the stratigraphic units and because of variations in
5 hydraulic and physical properties. They can also arise
6 because of stratigraphic effects or faults or fractures and
7 so forth like that. And, what we do is we look at
8 realizations, stochastic realizations, of the different
9 values of the parameters to generate these heterogeneities.

10 Okay. In order to generate stochastic parameters
11 or simulations of the parameters, the place we start is with
12 a three-dimensional model of rock types. These three-
13 dimensional models honor the data that we have while
14 estimating unknown values from the nearby data. In other
15 words, where we don't have data, we don't completely throw
16 the dice, but we try to get some insight from the values that
17 we do have. Any time there are deterministic features or
18 trends, such as the irrefutable fact that the stratigraphic
19 units are dipping and are quite strongly layered, this will
20 appear in the 3-D model. Sometimes, the units pinch out or
21 vary in thickness and we try to make sure that that aspect is
22 reflected also. Just as a gee whiz figure takes about 7
23 million nodes to model a volume roughly the size of the
24 potential repository.

25 Now, the rock types that we're talking about are

1 chosen to represent different unique hydrologic properties.
2 We don't choose rock types just for the sake of having
3 various rock types, but there is an--we consider there to be
4 an indication between rock types and hydrologic properties,
5 since it's hydrologic properties that we're fundamentally
6 interested in.

7 A typical simulation looks something like this.
8 This is for Drill Hole G-1. The rock type simulation uses
9 three major indicators; general welded, nonwelded, and
10 zeolitic. And then, there's a couple of sub-indicators; Prow
11 Pass welded and the Calico Hills nonwelded vitric and the
12 Bull Frog nonwelded. Generally speaking, in the area of
13 Yucca Mountain of interest, there are 10 stratigraphic units
14 which we identify. Here in the example I've shown, the Tiva
15 Canyon welded is not present. So, there are only nine
16 showing here. And, the bottom, the Tram unit and the
17 alluvium, the undifferentiated alluvium on the surface, are
18 not modeled.

19 Having a three-dimensional rock model which is
20 indicated by the dotted line here--and, you can see in
21 comparison the shape of the old SCP shaped repository
22 overlaying on this--what we do is develop some two-
23 dimensional transects within the rock model within this
24 volume here. And, shown here are the three cross sections
25 which were used for the 1994 fast path flow analysis that we

1 did. The intention of these, although they are not chosen
2 with very much more insight than what we did, was to roughly
3 represent the portions of the area of the repository on
4 either side of the Ghost Dance Fault. Faults were used as
5 no-flow boundaries on either side of the transects for
6 computational expediency, I guess you can say, for our
7 analyses.

8 Now, the 3-D rock model applied along a transect
9 gives a result such as this. The hydrologic units which are
10 defined are now defined stochastically. The Tiva Canyon is
11 the lightest zone up here. The Paint Brush tuff is shown
12 next. The Topopah Springs is this massive yellow zone. And
13 then, you can see others going down to the Bull Frog down
14 here, the--actually, I guess, the Bull Frog--yeah, the Bull
15 Frog welded is this one here. These are derived completely
16 stochastically. If you were to look at Simulation A or B,
17 you would see roughly the same, but not exactly the same.
18 And, Transect 2 over here would show something completely
19 different, and Transect 3 again would show something even
20 more different.

21 Having rock types--and, you remember the purpose of
22 coming up with different rock types was to be able to
23 identify different hydrologic properties--we do simulations
24 of porosity and what we're going to do is stochastically
25 simulate on the transects within the rock model different

1 porosities. And, addressing Pat's comment at the end of the
2 previous talk a little bit, by using a parameter distribution
3 function which has a range of values and a mean, we can
4 attempt to reflect the variability of the parameters of the
5 property that we have in mind, as well as its central
6 tendency, as well as our uncertainty in this parameter. The
7 larger the range of values, it can either reflect a knowledge
8 of a greater variability or a lack of knowledge and a greater
9 uncertainty in the values that we think.

10 One thing that we need to do--this is more a hope
11 than something that we're doing right now--is that the values
12 of the parameters that we have measured were generally done
13 on core scale, something roughly the size of your fist. But,
14 a site-scale model requires a scaling of the parameters to
15 significantly larger scale to reflect the greater variability
16 and the greater uncertainty in the range of values that you
17 can have in a large scale than you do in a small scale. So,
18 we will need to modify the PDFs to account for the difference
19 in scale between the measurements that we can make and the
20 simulations that we need to use.

21 Okay. Having a PDF, you roll the dice and you
22 select a value randomly for each geostatistical cell within a
23 transect. What we attempt to do is to spatially correlate
24 the values that we choose to reflect the stratigraphic
25 structure; meaning that if the area you were working was here

1 and you drew a value and the next value you drew was here,
2 you would not restrict the range--you would not restrict your
3 choice of values as strongly as you would as if you were
4 drawing values within a single unit.

5 For doing a flow calculation, the cells are
6 actually what are shown here and each cell may contain
7 numerous geostatistical cells. There's clearly not anywhere
8 near 7 million or even a small proportion of 7 million cells
9 shown in that picture there. So, what is done is that the
10 numerous geostatistical cells at which a porosity is assigned
11 are grouped into flow cells and then an attempt is made to
12 minimize the heterogeneity within a flow cell for numerical
13 calculation purposes and the result of that is the rather
14 weird shaped cells that you get, each of which has minimized
15 the variability of the porosity in there.

16 DR. LANGMUIR: Rally, just a quick one. How much data
17 is in that figure? I mean, how many of those corners
18 represent real measurements on a plot like that?

19 DR. RALSTON BARNARD: This is a very scarce plot, but
20 every one of these things is a drill hole, a well from which
21 we have data. There's actually more than that. There are
22 really considerably more than that, but they didn't happen to
23 show up here. So, we have drill hole data. We also have,
24 you can call it, soft data. For example, looking at outcrops
25 where they appear along the Solitario Canyon Fault. You can

1 get other information which also helps to condition the
2 simulations. And so, those are the data that we use.

3 DR. LANGMUIR: You don't expect to be surprised by an
4 exploratory facility?

5 DR. RALSTON BARNARD: Yes, I do expect to be surprised
6 in the exploratory facility, but anybody who doesn't probably
7 shouldn't be on the project.

8 Okay. Here are the hydrologic units. Here are the
9 distribution of porosities that we get having applied the
10 porosity simulations to the hydrologic units. And so,
11 porosities vary from about 1% up to about 65% and you can see
12 some of the variations that we get. This is the same
13 simulation just to make life easier. What you can see, for
14 example, is in the Paint Brush tuff here. It's relatively
15 high porosity showing. Down here, this is going to be the
16 Calico Hills. This may be the Calico Hills basal vitrophere
17 down here. You see it's dry as a bone and that can have
18 considerable implications.

19 Okay. Now, we have a model domain on which to
20 apply our flow models. And, we recognize that it's important
21 to consider alternative numerical flow models for unsaturated
22 zone flow. And, the reason for that is that we want to try
23 to bound fast path flow using--and, the way we expect
24 variations in fast path flow to occur is going to vary with
25 the sensitivity to the degree of saturation. For example,

1 the composite porosity model which we don't have to talk
2 about too much has a very strong coupling between fracture
3 flow and matrix flow. Until the matrix is fully saturated,
4 fracture flow doesn't occur. When you move to a dual-
5 permeability model, you relax that restriction somewhat and
6 you can have fracture flow in cases where the matrix is not
7 yet fully saturated. If you go to a discrete fracture model
8 and consider things like flow and fracture codings or
9 something of that nature, you can relax even further the
10 requirement that the saturation be high. And so, something
11 like that can radically change the results that you get based
12 on the model that you use for the same degree of porosity
13 and, thus, saturation.

14 Okay. What do you get when you apply the flow code
15 to the model domain? You get something that looks like this.
16 This is again Transect 1, Simulation C. And, what you can
17 see is that the average saturation actually approaches 1 over
18 here and then you've got a couple of blobs where it
19 approaches 1 here. But, this is kind of a significant point
20 for you to keep in mind for what I'm going to show you next.
21 How did this arise? Well, it arose as a confluence of
22 effects including the specification of porosity over here and
23 also the boundary conditions that we used. One thing I
24 haven't mentioned and I won't mention any further is that we
25 have been applying different boundary conditions along the

1 surface of the earth's surface here, the surface of the
2 problem, to reflect what we know from work by the USGS and
3 others to give us values for steady-state water saturation
4 immediately under the surface. Okay. Let's remember this
5 one here, the average saturation distribution. As you can
6 see, it's highly so here. It's pretty darn reasonably dry
7 over here and that's going to make for some interesting
8 goodies.

9 Okay. Now, I'm going to completely shift gears for
10 a minute and quit talking about the unsaturated zone and talk
11 about the saturated zone. And, really, what this is to a
12 large extent is a rehash of what was done in TSPA-93. I'm
13 going to review for you the TSPA-93 saturated zone model
14 because that's the place where we are starting for our ground
15 water travel time. The reason for that is it seems like a
16 very good place to start. It's based on the USGS
17 interpretations of their regional model and the two major
18 factors that we have considered are the large hydraulic
19 gradient which appears in the model and some vertical
20 zonation and inhomogeneity. That's another word that will
21 probably trip me up.

22 The way we model the large hydraulic gradient is
23 with two different features; the diversionary and non-
24 diversionary feature. And, what we did with the vertical
25 zonation was to limit the depth of the model that we felt we

1 needed--the depth that we felt we needed to model for TSPA-93
2 to about 200 meters. Probably, should have gone to 300
3 meters, but we only went to 200 meters. But, that is an
4 indication of the model that we had that we could probably
5 get away with that. We included faults as hydrologic
6 features, but I must instantly add that the faults were just
7 used parametrically. We don't know what their properties
8 are, but by torquing with the properties enough, we can get
9 results that we like, but there's no indication that the
10 values that we have used are necessarily based in reality.
11 The faults we found most beneficial to making the model work
12 are the Drill Hole Wash and the Solitario Canyon Fault.

13 How are we going to go about the saturated zone
14 flow modeling? With STAFF-3D which is what we used in TSPA-
15 93, but we're also planning to use FEHM in the future. For
16 TSPA-93, we had an 8km x 8km x 200 meter vertical depth
17 volume. And, the significant number, if you want to remember
18 one number about what we did, it took about 1,000 years for
19 water particles to reach the 5 kilometer boundary from the
20 potential repository. However, the travel times were not
21 uniform along the accessible environment boundary and I will
22 illustrate that here. This is the 8km x 8km x 200 meter
23 depth. This smile on here with--you know, a smile--is the
24 accessible environment boundary 5 kilometers away. Potential
25 repository located there. I've had these two yellow dots put

1 on and they correspond to these spots along a breakthrough
2 curve whose total path length corresponds from there to
3 there. So, what you can see is there are considerable
4 variations in the extent of breakthrough that you get
5 depending on where you go to look for it. So, the two yellow
6 dots are locations where there was essentially no
7 transmission, no water flow from along a path from here to
8 this point here. In other places, you can see there was
9 considerable. So, the point of that is that we cannot make a
10 simple--we can't arbitrarily pick flow tubes or other means
11 of modeling the flow in the saturated zone from locations
12 here to locations down there without knowing considerably
13 more about the structure.

14 Okay. That ends the talk on the saturated zone.
15 Now, let's return to talking about how you finish up a ground
16 water travel time analysis. And, the way you do that is with
17 what we're using, a particle-tracker. We use a flow field
18 produced by the flow code and for the work that we've
19 currently done, we're using a steady-state, composite
20 porosity code called DUAL in the saturated zone. When we do
21 this, in addition to what I just showed you, we have done it
22 with STAFF-3D and then FEHM will be the other one. I'd like
23 to point out, especially for our UZ work, that we can use
24 other codes for generating the flow fields. We hope that it
25 will merely require alterations in the input deck so that we

1 can use TOUGH or another code like that to generate the flow
2 fields. And, we do expect that eventually we'll be able to
3 include some form of transient effects, such as variations in
4 temporal, of changes in boundary conditions, and so forth
5 like that.

6 So, the flow code calculates the advective
7 transport of water particles. Those are due to matrix flow
8 for low saturations and fracture flow for high saturations;
9 thinking now in terms of a code like this. And then, after
10 we have used advective processes to move the particles, you
11 apply molecular diffusion to fuzz them out and give yourself
12 a slight random aspect to their motion. The particles are
13 launched from the disturbed zone.

14 Sandia has now gotten into the movie making
15 business, but I'm not going to show you one. I'm just going
16 to show you one frame of a movie that represents the
17 particle-tracker output. What this is, it's for the same old
18 simulation that you've come to know and love. This is at
19 110,000 years and what is shown on here is, now in addition
20 to showing the porosities which are the color coding of the
21 cells in the transect in the model domain, the average Darcy
22 vector in each cell is also shown. So, what you can see is a
23 nice lot of diversion occurring up here. You remember this
24 really saturated area? A lot of flow is occurring here. It
25 looks like it's downward flow and so it looks like the flow

1 field generated is quite consistent with what you would
2 expect from over there. A 100 particles were all launched
3 from a line right across here. It happens to be the location
4 of the potential repository horizon, but if you were to have
5 some kind of blob around there representing a disturbed zone,
6 you'd launch them from the edge of there.

7 You should see this one; it's a movie. It looks
8 like you're playing space invaders because you've got these
9 big green thunderbolts coming down. The green lines
10 represent paths that were taken by fracture flow. The blue
11 triangles show motion that was strictly in the matrix. And
12 so, what happens is a particle moves along until it moves by
13 matrix flow into a saturated cell and, boom, it exits the
14 problem because fracture flow is fast enough that on the
15 scale of the movie that we're showing they just leave like
16 that. So, what you can see is after 110,000 years, there's
17 been considerable fracture flow occurring, but the matrix
18 flow really isn't too much. We've got one particle which
19 manage to make it down here and the way it did it was that it
20 took a shortcut--it took the down elevator in a fracture down
21 to there--and then started chugging along in the matrix down
22 to here. This one moved a shorter distance.

23 I'd like to point out that in our analysis, we've
24 been fairly conservative about what we do because a particle
25 which finally gets into a fracture can be transported a

1 considerable distance in a time step. If the distance that
2 it's transported within a time step does not take it out of
3 the problem already, then you have to decide what to do about
4 it in the next time step. Now, when you're talking the
5 composite porosity model, the distance that it's transported,
6 most likely, is transported to a cell in which the saturation
7 is much lower. So, do you just stop it like you did here?
8 That, I think, would cause almost no particle to leave. This
9 is one of the restrictions of the composite porosity model.
10 So, what we do is we say if it's in a fracture already, we're
11 going to give it a high probability of continuing in the
12 fracture which is certainly a more conservative way of
13 treating the particle. So, that's why you see what you see,
14 as many failures as you do.

15 DR. LANGMUIR: Rally, you're saying the repository
16 horizon is on the right over there where all the fractures
17 are shown? Where would the repository be on this?

18 DR. RALSTON BARNARD: Oh, yeah, actually it runs from
19 about here all the way over to here. There's a little tiny
20 --if you got up close, you could see an itty-bitty purple
21 triangle and that's the last mortal remains of a particle
22 where it was located at the time it was launched. Okay?

23 DR. LANGMUIR: What's the evidence for all the fractures
24 in the repository horizon? Are they inferred from the water
25 contents? And, where's the--

1 DR. RALSTON BARNARD: Remember, composite porosity model
2 does not strictly--does not really model fractures. It says
3 that when saturation is great enough, it flows as if it were
4 a fracture flow. So, we have no evidence, whatsoever, that
5 there are really fractures there, but if there were, we have
6 enough saturation so the water would overflow from the matrix
7 and flow in those fractures. That's why we see what we see.
8 Remember, this is an artifact of the composite porosity
9 model.

10 Okay. Well, what I've shown you is one frame from
11 one example from one realization in one transect. And,
12 remember, there could be a number of transects. What we can
13 generate from this is a cumulative distribution function from
14 the simulation. And, I want to emphasize this is artistic
15 license in the extreme as to the actual values that you see
16 here. But, let's suppose, for example, that the blue line
17 here represents what is shown over here, the CDF. And, what
18 it shows is, for example, after 150 years, you have about 5%
19 of the particles have moved out, and so after 1,000 years,
20 it's up to about 12%, something like that, okay? Now, that's
21 just for one realization. But, it is a distribution. But,
22 since it is very specific as to the parameters that we used
23 and the area in the repository that we are modeling, it isn't
24 adequate. So, we have to do several more of these. We have
25 to do them at Transect 2 and Transect 3. We have to do it

1 for Simulations A, B, and C and so forth. You can get a
2 whole bunch of these. You finally combine them and you get a
3 combined cumulative distribution function which might look
4 something like this. Now, finally, in this case, you can
5 start to say, well, I have about 10% of my values occurring
6 less than 1,000 years. Now, I must look at what caused that
7 to see if those are significant, if they are likely paths and
8 if they are significant paths. When you finally get to this
9 step, this is what Jim is calling the stochastic analysis.
10 It's where we'll be able to start making evaluations of what
11 is likely and what is significant.

12 Okay. Some other factors in the calculation, Jim
13 has talked at length on the disturbed zone, but what I'd like
14 to point out is that in our 2-D transect, we can explicitly
15 model it if we choose to. Remember, we introduced water at
16 the top of the problem and maybe we want to have a disturbed
17 zone which is really dry or something and causes water to be
18 diverted around it. Will that change the results that we get
19 for water paths below it? Okay. Water particles can be
20 distributed in a number of ways at the repository. As what I
21 showed you was a random distribution, but kind of a clever
22 idea might be to weight the number of particles by the amount
23 of nuclear waste in the potential repository that they
24 represent.

25 As Jim pointed out, there's no way we can avoid

1 doing a lot of sensitivity studies because that's what's
2 going to give us the confidence that we have in the analysis
3 that we produce. Some of the things that we're going to look
4 at in this next year are what happens if you use a
5 homogeneous hydrologic property, what happens if you use
6 units of uniform thickness? Most importantly, we feel it's a
7 necessity to get going on the problem of scaling the
8 parameter PDFs. This could be an area where until we
9 understand this better, we will not have much confidence in
10 our ability to take itty-bitty samples and apply them to
11 hundreds of meter volume analytical areas. You saw the
12 choice of grids that we used, was one choice. What happens
13 if you use a much finer grid? You will certainly have a lot
14 more vectors to worry about in your flow field. Will that
15 change the results? All this will be used to try to help us
16 to understand the uncertainties better.

17 Now, John has a couple of times raised questions
18 about whether we can complete our work, whether we can
19 provide feedback, whether we can understand everything we
20 need to understand in time. And, one of the things that we
21 are doing is we are attempting to link very strongly to site
22 characterization efforts and to other modeling efforts. And,
23 the USGS is giving us--I mentioned the boundary condition
24 work that we were using. This is specifically at near-
25 surface measurements from the N-holes, are going to tell us

1 water content, and hopefully we will be able to get
2 information on transient and non-equilibrium fracture flow
3 which is necessary for the dual-permeability model since they
4 represent two separate continuum in which you independently
5 model the fracture flow and the matrix flow. There's
6 evidence that there is perched-water at the site and so any
7 information that we can get on that will be useful in helping
8 us understand the porosity values we should assign to various
9 strata within the model. And, we can certainly use
10 information of the chlorine-36 information and so forth. It
11 will also be valuable. For the disturbed zone, we'll need
12 some information on retardation.

13 Now, it was mentioned a little while ago that the
14 disturbed zone may rely considerably on expert judgment.
15 Sandia is proposing for the '95 budget to do some coupled
16 thermomechanical hydrologic modeling to help to resolve some
17 of the questions and better identify and delineate what the
18 area/the important volumes of the disturbed zone are going to
19 be. This work would be done, for example, with TOUGH and
20 will use all the features that we have in that code to
21 attempt to link these three processes to get an idea of what
22 size these effects of the disturbed zone will be.

23 A number of times, the USGS/LBL site-scale model
24 has been mentioned. The way we plan to use that is to help
25 us get boundary conditions for the transects because right

1 now, as I said, we're using the faults as no-flow boundary
2 conditions, but certainly that's somewhat unsatisfying to use
3 them that way. However, for a model which incorporates the
4 faults' interior features, hopefully, we can start to get
5 some hydrologic properties of the faults. In that case then,
6 we will be able to more with a little better insight include
7 them if they are boundary conditions to really reflect their
8 hydrologic properties. The other thing we're going to do is
9 locate transects where the site-scale model suggests that
10 they're the most appropriate and that can be a two-fold type
11 of appropriateness. One is that the site-scale model says in
12 this area it looks like you can have considerable local
13 saturation. So, that looks like it might be a good place to
14 investigate the possibility of fast paths occurring. The
15 other thing it can do for us is to say in this region over
16 here the flow is essentially 3-D, it looks like a two-
17 dimensional transect in this area, will not be particularly
18 useful or insightful.

19 Okay. Let me summarize. What we've done, so far,
20 supports the general approach to the ground water travel time
21 evaluation because we include flow paths in both the UZ and
22 the SZ. We're incorporating alternative conceptual models
23 and alternative numerical flow models. We're going to
24 incorporate a disturbed zone which is consistent with the
25 most general interpretation. And, we have tools now for

1 evaluating the uncertainty and the consequences of travel
2 times less than 1,000 years. And, all these are going to be
3 important components of ground water flow and transport
4 analyses for other performance assessment needs.

5 Our 1994 work has demonstrated progress towards
6 this analysis program. We have developed what looks like a
7 fairly reasonable modeling domain. We've applied one flow
8 model on the domain. We have, I must modestly admit, a
9 pretty slick particle-tracker going here. You should see the
10 movie; it's really great. And, we also have identified
11 future data needs and linkages to other programs.

12 So, that's it. If there are any questions, I'll
13 make an attempt.

14 DR. DOMENICO: Thank you very much, Rally.

15 Any questions from the Board? Don?

16 DR. LANGMUIR: Rally, in the TSPA-93 document, there was
17 quite a lot of discussion of using the WEEPS model which, I
18 presume, is a fracture-dominated flow model versus a
19 composite porosity model.

20 DR. RALSTON BARNARD: That's right.

21 DR. LANGMUIR: And, very significant implications to
22 performance of a repository which if you had one or the
23 other.

24 DR. RALSTON BARNARD: That's correct.

25 DR. LANGMUIR: What you're telling me today is that at

1 least in some of these models you're using the faults as no-
2 flow boundaries which is ignoring the very significant
3 differences, perhaps, in these models and not even
4 considering fracture flow. How are you going to approach
5 this and how much data do you need before you can
6 realistically assess WEEPS versus composite porosity, before
7 you know which way the flow actually is occurring in there?
8 How far are you from deciding which one you want to pick?
9 You certainly don't have any data on the fractures or very
10 little. You're assuming--

11 DR. RALSTON BARNARD: That's correct. We are starting
12 to get some data from the USGS to give us information on the
13 relative saturation on one side of a fracture versus the
14 other. It happens to be at the near-surface. So, it's
15 coming from the N-holes. So, this will be some information
16 that we have. This first analysis, I really feel was
17 restricted by the fact that we used the faults as no-flow
18 boundaries. And, the LBL model, I think, is going to be much
19 more effective. It's going to allow us to include faults in
20 the middle of a transect and then we can start to look at the
21 effect of the fault, see whether it acts like a complete
22 conduit, whether it acts like a barrier, what kinds of
23 effects it may have. I can't answer you right now as to what
24 we're going to find, but it is clearly an extremely important
25 element of what we're going to do that we will include faults

1 as, I'll call them interior features, also, rather than just
2 boundary conditions.

3 DR. LANGMUIR: I worry that if you've got to decide on
4 what their significance in the next three or four years, it
5 will be expert judgment that decides their properties rather
6 than enough measurements to have any confidence.

7 DR. RALSTON BARNARD: Well, as I mentioned for the
8 saturated zone, we used the faults parametrically. We
9 allowed ourself complete freedom to tweak the parameters to
10 get fits to the observed data that we had and what we came up
11 with, as long as it was remotely reasonable, was considered
12 an acceptable value. That's not going to be an acceptable
13 way for us to do this and we are relying on site
14 characterization efforts that we expect to give us something
15 in the next year to allow us to get some insight. The thing
16 to remember is about these models, these models will function
17 with anything from one datum to the most complete set that
18 you could have. And, the more data that you have, the more
19 insight that you have. The saturated zone model had very few
20 data for us to work with and we've made a proposal that we
21 get more data because what that will do is it will help us
22 refine the model. It may radically alter the model, it may
23 not. We won't know, but we certainly have something that we
24 can use right now using best available data.

25 DR. CORDING: You indicated some modeling of faults.

1 I'm just kind of interested in what sort of scales you're
2 looking at because I mean you have fractures at much smaller
3 scales and spacings and you may get to a level where you're
4 not discretely modeling certain characteristics in the
5 fractures, but trying to model them in some sort of a smeared
6 porosity, but then you may be modeling some discretely. I
7 was trying to get a feel for what you thought you'd be able
8 to accomplish with the type of models you're going to be
9 getting into.

10 DR. RALSTON BARNARD: I would expect that in a transect
11 something like this, if we introduced the fault here that
12 there would be--it would be modeled to the level of a flow
13 cell. This is 10 to 30 meters across. We might be able to
14 tweak that down for a fault to make it only 5 meters or
15 something like that. I would expect that's the best we can
16 do. Certainly, to get more detailed on a feature like that
17 could make the problem too complex to handle. I don't know
18 if that answers your question. I'm really not the guy to ask
19 about fault modeling. Hopefully, the GS guys will be here
20 tomorrow and can do a better job of that. So, I'd actually
21 like to defer--

22 DR. CORDING: You could have some features that aren't
23 maybe as through-going as some of the faults vertically
24 through-going and might terminate at one level or another,
25 particularly against low permeability zones--well, I should

1 say lower--less zones, you know, like some of the nonwelded
2 zones.

3 DR. RALSTON BARNARD: We do not intend to reject any
4 data that we have. If somebody tells us of a feature down
5 here that's limited in vertical extent or something, we feel
6 that we can include it in some fashion.

7 DR. DOMENICO: John, do you have a question?

8 DR. CANTLON: Yeah. You mentioned that you were
9 incorporating some of the perched-water. Since we don't
10 really know the pathway by which that water got there, how is
11 that being incorporated?

12 DR. RALSTON BARNARD: Since we don't have data, the
13 answer is that they have not been incorporated yet.

14 DR. CANTLON: Okay.

15 DR. RALSTON BARNARD: Clearly, just to have an isolated
16 saturation value, something like that, will not be of use. I
17 think it's going to be part of the regional-model. If there
18 is some aspect of the USGS regional-model that reports
19 something about the--for example, the high-gradient area may
20 be the source of the perched-water flowing across an
21 impermeable zone into an otherwise unsaturated area. When we
22 have information that indicates that, that's the way we will
23 incorporate it. It's just not scientifically defensible to
24 go, poof, here's perched-water otherwise.

25 DR. CANTLON: So, the short answer is you haven't really

1 been able to use the perched-water--

2 DR. RALSTON BARNARD: We don't have that information and
3 we haven't included it just yet.

4 DR. CANTLON: Okay.

5 DR. DOMENICO: Don?

6 DR. LANGMUIR: Rally, let me get some idea of the
7 thought process here. We do have limited data and I hope we
8 have more than I've seen recently on chlorine-36 and some
9 $^{14}\text{CO}_2$ data which infers things about gas and liquid together,
10 chlorine-36 being the water alone. Do you look at that data
11 yourself or do you let the GS interpret it and then provide
12 you with information on filtration rates or assume pathways
13 based on the dates and then you go from there? What's the
14 tie-in on that data and your modeling?

15 DR. RALSTON BARNARD: What I'd like to think is that we
16 rely on the GS to make an interpretation. We look at that
17 and, as customers, we see (a) if the data are useful, fit our
18 needs and (b) if it passes the reality test. And, we try to
19 work with the suppliers of the data to--if there are
20 questions, to resolve them. Maybe asking stupid questions,
21 it oftentimes provokes some interesting insights on
22 everybody's part. So, we'll probably ask stupid questions
23 and see where that leads. But, otherwise, I would think we
24 would probably not try to use the raw data ourselves.

25 DR. DOMENICO: Further staff questions?

1 (No response.)

2 DR. DOMENICO: Well, due to the skill and cunning of the
3 moderator, we've finished 25 minutes early. So, I'm going to
4 declare a 10 minute break, and then we'll come back for some
5 discussion, questions, and comments from the Board, the
6 presenters, and hopefully the audience.

7 (Whereupon, a brief recess was taken.)

8 DR. DOMENICO: This, of course, is the part where we
9 like to have a discussion and we like to have questions/
10 comments from the Board, from the presenters, from the
11 audience. So, we're not going to stand on any protocol. If
12 you have something to say, don't let me wait and ask you.
13 Just when there's an appropriate, you step and fire.

14 I have one. I have, at least, one. It's a
15 statement and a question and I'd like a serious answer to
16 this. But, because licenseability will ultimately be
17 determined by meeting or not meeting some EPA standard--I
18 think we agree on that--is ground water travel time as we
19 know it a non-issue in itself or merely an issue as it
20 pertains to performance assessment modeling? And, I think
21 probably the people who spoke on the regulation this morning,
22 Mal and the others, NRC might help me out on that. Do I have
23 to repeat that or is that pretty clear what I'm saying, what
24 I'm asking?

25 UNIDENTIFIED SPEAKER: Repeat it.

1 DR. DOMENICO: Yeah, sure. I said because license-
2 ability will ultimately be determined by meeting or not
3 meeting some EPA standard, as yet undefined, is ground water
4 travel time a non-issue in itself or only an issue as it
5 impacts that performance assessment? In other words, is it
6 just another input into performance assessment or does it
7 have some value in and of itself?

8 MR. BROCOUM: DOE is on the record, I think, at least in
9 our presentations to the 801 National Academy of Sciences
10 where we recommended in our report to them that quantitative
11 subsystem requirements be replaced or eliminated and be
12 replaced by qualitative substance requirements. I mean, it's
13 a substance requirement. And, one has to ask themselves as
14 we develop our models, as we develop our performance
15 assessment capabilities, to look at the total system and how
16 it's going to behave picking an artificial measure, such as
17 ground water travel time, which was originally intended to
18 help us select a good site to characterize and compare among
19 sites "What relevance it has for the future," as our models
20 become better and as our predictive capabilities for a total
21 system--and, we understand total system better. So, you
22 know, I'd like to lay it out to be discussed and we have
23 taken a position on that, at least, in front of the National
24 Academy of Sciences.

25 DR. DOMENICO: And, your position is not necessarily at

1 issue except being itself? It's just--

2 MR. BROCOUM: Yeah, our position really doesn't add--
3 doesn't truly add to understanding how you--to public health
4 and safety, you know, to that issue whether you talk about
5 releases or doses to the public.

6 DR. DOMENICO: Does the NRC have some position here?

7 DR. BELL: Yeah. The answer to your question is given
8 in Part 60, the way it's written, the numerical subsystem
9 performance criteria or in addition to meeting the EPA
10 standard. In other words, the Commission has taken the
11 position that even if you chose to meet the EPA standard,
12 unless you also meet these other subsystem requirements, we
13 don't have reasonable assurance that the EPA standard will be
14 met.

15 DR. DOMENICO: Is that, Mal, your--I'm sorry.

16 DR. BELL: And, the Commission further in the rule says
17 that it's not going to rely just on one barrier to do the
18 whole thing. In other words, we reject just out of hand DOE
19 coming in and saying, well, we've got a 10,000 year waste
20 package, and given a 10,000 year EPA standard, we meet it
21 because we're going to say it--you know, no matter what your
22 performance assessment shows, we're human. There could be
23 some mistakes. There's just some process that we don't know
24 about. And, therefore, we want to have these three different
25 mechanisms at the various stages of the isolation process and

1 we want them all to work to some extent, so that even if we
2 completely mischaracterize the ground water flow system,
3 we'll still have engineered barriers that will do.

4 DR. DOMENICO: I thought part of your statement was "or
5 some other ground water travel time as specified".

6 DR. BELL: Well, there is some flexibility to approve a
7 number other than 1,000 years for this compelling argument
8 that was mentioned earlier. But, it's not automatic that
9 just because the EPA standard isn't met, we'll approve any
10 other ground water travel time DOE may wish to impose.

11 DR. DOMENICO: I'm supposed to remind the speakers to
12 speak into the microphones. This is my message here. That's
13 not my response to your response. It's my message here.

14 MR. MURPHY: No, I agree with that 100% and I may have
15 garbled my earlier answer to you, Pat, and if I did, I
16 apologize. But, that is precisely what the regulations now
17 envision. And, the reason for that is that the Nuclear
18 Regulatory Commission and only the NRC--and let's forget
19 there's such a thing as Congress; nothing else exists. We're
20 in a vacuum and only the NRC exists. And, they and only they
21 can determine whether or not whatever action they take is
22 consistent with their requirement under the Atomic Energy Act
23 that they protect the public health and safety an the
24 environment. But, the EPA just publishes that general
25 standard and only the NRC can determine whether or not--even

1 taking into consideration the EPA standard--if we allow DOE
2 to do this, will the public health and safety be protected?
3 And, I'd put that one page back up in quoting again from--
4 and, that quote comes from the statement of considerations on
5 the proposed rule in 1981. The same kind of considerations
6 were again stated in 1983. But, the containment/controlled
7 release rate in 1,000 year ground water transit time, as they
8 said in 1981, are NRC requirements. But, you can analogize
9 containment and controlled release rate to the EPA standard.
10 That's what the EPA standard is, the controlled release
11 rate. But, the 1,000 year ground water travel time is still
12 an independent criteria of the overall repository
13 performance. And, the reason for that is to allow the
14 Commission that high level of confidence, high degree of
15 confidence, necessary to reach a reasonable assurance that
16 what we're doing now by granting this license will protect
17 the public health and safety which is their obligation under
18 the Atomic Energy Act.

19 DR. DOMENICO: Steve, speak up?

20 MR. BROCOUM: It's very hard to see what the
21 relationship of the ground water travel time is to public
22 health and safety. I mean, the whole point of the 1982
23 Nuclear Waste Policy is to develop a health based standard
24 that's related to public health and safety. Ground water
25 travel time, in and of itself, is an arbitrary--1,000 years

1 is an arbitrary number. To find the edge of a disturbed zone
2 to some degree will be a major debate. It's going to be
3 arbitrary and how that even--whether you do 1,000 years or
4 10,000 years or 900 years, how that's related to public
5 health to me is something I cannot understand in my own mind.
6 And, that's where we're arguing that it ought to be the
7 performance of the total system which, wherever we go,
8 release dose relates more directly to the health and safety
9 of the public is the way to go.

10 MR. MURPHY: Well, it's relation to the health and
11 safety to the public is by establishing the level of
12 confidence which the decision makers will feel is necessary
13 before they can take this action. That's how it relates to
14 the public health and safety. The performance of the overall
15 system, the engineered barriers, et cetera, will be fraught
16 with huge amounts of uncertainty even, I would submit, after
17 the 100 year period of confirmatory testing. There's still
18 going to be a whole lot of uncertainty left. And, the idea
19 in 1981 and 1983, and I submit it's still a valid idea today,
20 the idea is to say, okay, we're pretty comfortable, we're
21 fairly satisfied that this thing is going to work the way its
22 intended to work because the EBS is going to work and there's
23 going to be some retardation, there's going to be this, and
24 there's going to be that. But, the thing that really makes
25 us comfortable, comfortable enough to go home and explain to

1 our kids that we just issued a license for Yucca Mountain, is
2 the fact that the ground water is going to travel slowly.
3 That's what the ground water travel time standard is all
4 about. It's adding that final measure of confidence which
5 the public policy demands that the decision makers be able to
6 find before they issue a license.

7 MR. BROCOUM: We have no problem with the term if the
8 ground water travels slowly. We hope that's the case. The
9 issue is making it an artificial criteria that is not
10 directly related to public health and safety.

11 I need to also make a comment. When you look at
12 the total system performance, you will look at all components
13 of that system including the waste package, engineered
14 barrier, and the natural site itself. So, doing a TSPA and
15 evaluating using that approach does not mean you will ignore
16 the multiple barriers. So, I think you can handle multiple
17 barriers other ways and by having artificial criteria in the
18 regulation.

19 DR. DOMENICO: I think I see your point. Are there any
20 other points regarding this particular question?

21 DR. CHESNUT: I'd like to get this into a specific
22 hypothetical. Take Rally's curves where he shows 10% of the
23 ground water has a travel time of less than 1,000 years.
24 Let's suppose this is correct. Let's also suppose that we
25 can make a strong case that our EBS meets those subsystem

1 requirements and that the total system passes the total
2 system release with flying colors. We have one thing then.
3 We have 10% of the ground water travel which has a travel
4 time of less than 1,000 years. Would that preclude granting
5 a license? Would that keep us from having the degree of
6 confidence that the Commissioners would need? That's the
7 real issue, I think, in this discussion. If you want to
8 separate it from performance, how much can we tolerate on the
9 tale of distribution?

10 DR. DOMENICO: Anybody wish to address that one?

11 DR. BELL: Well, and the question is it would not
12 necessarily prevent granting a license, but it would
13 certainly be an issue that would get a lot of consideration
14 before the license was granted.

15 MR. MURPHY: Well, that's right. It increases the
16 burden. It makes it more difficult. It makes the showing
17 that DOE has to make--you know, it imposes a higher standard
18 on them in order for the NRC Commissioners to be able to
19 reach that high degree of confidence that they've said they
20 need to reach. But, it doesn't make it impossible, no.

21 DR. DOMENICO: Then, I presume that you're in agreement
22 and possibly you, too, Steve, with the presentation of the
23 method in which ground water travel time will be handled by
24 the last two presenters?

25 MR. BROCOUM: I don't have too much problems with their

1 methodology. I have a problem with making it a criteria when
2 that criteria is not related to public health and safety.
3 That's the issue here. The issue is not that we shouldn't do
4 studies like this; the issue is should it be a criteria.

5 DR. DOMENICO: Lester?

6 MR. BERKOWITZ: What I'd like to say is that the
7 Commission in making whatever determination it makes has said
8 that they will take uncertainty into account and we really
9 shouldn't forget that. DOE will have the burden of doing the
10 best job it can to provide to the Commission the information
11 it needs to make that determination. But, I don't think it
12 was ever contemplated that the Commission would be able to
13 make that determination without taking into consideration the
14 fact that there could be a great deal of uncertainty. I
15 don't think that we're going to know the answer now or in a
16 year or two years or three years what it's going to take to
17 convince NRC. I think that there's going to have to be a lot
18 of discussion back and forth and this is something that we
19 anticipate. I think that it would be unwise to assume that
20 we will ever be able to do all the work to reduce uncertainty
21 to a very, very small amount. The Commission's job is to
22 make determinations in the face of uncertainty and that's
23 what the reasonable assurance standard is all about.

24 DR. DOMENICO: Are there any other positions regarding
25 this particular issue? Don Langmuir?

1 DR. LANGMUIR: Not this issue.

2 DR. DOMENICO: Oh, any other points on this issue?
3 John?

4 DR. CANTLON: One minor iteration on that and that is
5 have the runs so far looked at some of the paleo-
6 climatological data and used the projected hydrologic
7 conditions of, say, the alluvial period?

8 DR. RALSTON BARNARD: No, we have not yet. We have only
9 used a very limited set of boundary conditions, but we
10 anticipate needing to broaden our range of boundary
11 conditions which should include what you're concerned with.

12 DR. DOMENICO: Let me ask a related question and then
13 I'll get to yours because this is the same issue. There's
14 another subsystem performance standard, 10^{-5} or at least,
15 that nobody seems to be worried about. Well, this is not an
16 atomic reactor. Is that a design variable or is that a
17 performance variable and how the hell is anybody going to be
18 assured that that subsystem performance criteria is non-
19 violated, 10^{-5} ? How does one guarantee that it's going to be
20 based on various solubilities? Why hasn't that been given
21 the same importance as a subsystem performance standard as
22 ground water travel time? Can someone address that for me?

23 MR. MURPHY: I don't know that it hasn't.

24 DR. DOMENICO: You don't know that it has not been--
25 Steve, go ahead?

1 MR. BROCOUM: Well, the ground water travel time
2 guideline in 960 is a disqualifier. If we don't meet it, we
3 get disqualified. The 10^{-5} subsystem performance is an NRC
4 subsystem performance. It is not in our 960 siting
5 guidelines. So, it's not a disqualifier. So, in that sense,
6 it isn't as high on our agenda, but it is a thing we're very
7 worried about because of the reasons you mentioned of how do
8 you actually demonstrate that rate of release and assure
9 yourself that will happen? You have so many things to worry
10 about; everything from how much the stuff dissolves, to how
11 the waste package corrodes, and it's a real issue. So,
12 that's something we're looking at right now. I mean, the
13 waste package people are thinking of very hard.

14 MR. MURPHY: But, again, I would suggest the reason we
15 have a ground water travel time disqualifier and DOE wrote
16 the disqualifier. The NRC didn't make it a disqualifying
17 condition, but--I mean, you did that to yourselves, Steve,
18 as Congress required. But, the reason we have that
19 disqualifier is because it's so difficult to assure the
20 Commission and the public that they can meet the 10^{-5}
21 standard.

22 DR. DOMENICO: Well, you are aware of how much
23 uncertainty goes into a ground water travel time calculation?

24 MR. MURPHY: Oh, I understand. There's uncertainty
25 piled on uncertainty here.

1 DR. DOMENICO: Don, you have a point?

2 DR. LANGMUIR: Just related to this. Dwayne Chesnut
3 pointed out the hypothetical that maybe we've got a 10%
4 arrival time here which is too soon, less than 1,000 years.
5 The big issue comes down to this. How does that tie into
6 releases of radionuclides and their transport? So, that's
7 the big question for DOE ultimately in all of this modeling;
8 is can you get to that one? Can you tie together the source
9 term and transport, sorption, and all the rest of it, and
10 it's suitable if that isn't in that 10%. But, it's not
11 suitable, maybe, if it's in that 10% that gets there first.

12 MR. MURPHY: Well, and also there's--10% of what? How
13 much?

14 DR. LANGMUIR: That's it. Yeah, that, too.

15 DR. DOMENICO: You know, I think everybody realizes in
16 all performance assessment models, the important parameter is
17 the source release. I mean, everything just moves it and
18 spreads it or holds it back. But, you have as much
19 uncertainty in that subsystem performance as you have in
20 ground water travel time and I just wonder that maybe we're
21 overemphasizing the role of the ground water travel time
22 regulation. I just brought that up from things that I've
23 heard here.

24 Is there any other points regarding this?

25 MR. MIFFLIN: I think that the intent of the ground

1 water travel time has a purpose that NRC recognized earlier
2 on and that the Yucca Mountain site is a very good example
3 for that purpose. The ground water travel time is difficult
4 to determine, but at the same time, it's a very good measure
5 of the hydrogeologic environment. All of the performance
6 assessment evaluations and many of the other licensing
7 criteria are not based on existing conditions. And, the only
8 thing in the ground water travel time criteria is deciding
9 where the disturbed zone boundary is and we have quite an
10 argument about where that's going to be. So, this shows the
11 uncertainty that comes into this whole site selection or site
12 characterization or evaluation process where to determine,
13 say, the disturbed zone boundary, we're talking about some
14 type of modeling process on the basis of limited or perhaps
15 uncertain databases; whereas, with the ground water travel
16 time, at least you have the opportunity to measure something
17 that's going on right at the present time. And, I think from
18 that perspective it's very, very critical.

19 The other point I'd like to make is that whether it
20 was purposely structured this way or not or whether it was an
21 accident, look at the effect that the ground water travel
22 time criteria and the disturbed zone boundary requirement
23 does with respect to thermal load and the site. If we put a
24 cold load in, we have the probability of a rather small area
25 of a disturbed zone boundary and we have more of the vadose

1 zone for credit for ground water travel time, perhaps. On
2 the other hand, I noticed in one of the presentations that at
3 least going through the analysis, there would be determined
4 what low thermal loads would do with respect to performance
5 assessment. So, already, this criteria of ground water
6 travel time has very significant importance in the sense that
7 it may eliminate a very high dry out thermal load.

8 DR. DOMENICO: Any comment to that or something--

9 DR. LANGMUIR: A related question which ties into--I
10 have similar concerns about the disturbed zone. I guess my
11 question is partly for the NRC folks, as well as maybe DOE.
12 The travel time regulation is based upon a measurement of
13 movement from the outside of the disturbed zone to the
14 accessible environment. Well, in this day and age--this is
15 now 10 years after '84-'85--does that really make sense?
16 Isn't the issue releases from the waste package to the
17 accessible environment? If you put it at the outside of the
18 disturbed zone, you're now saying high thermal loading isn't
19 appropriate because that's going to give you a very large
20 disturbed zone which goes right to the water table. But,
21 that's ignoring the benefits of a high thermal loading
22 strategy, at least if it works the way it's supposed to work
23 which is to completely dry out the system and prevent any
24 releases. It's inconsistent, isn't it? We're saying on the
25 one hand, the high loading will prevent releases. We're

1 saying on the other that the releases from the outside of the
2 disturbed zone are the critical ones. We're going to put
3 that a long way from the waste package if we heat it hot.
4 So, does the definition of disturbed zone as it's being used
5 in the regs make sense any more if we're considering possible
6 high and low thermal loadings as strategies to isolate waste?
7 I guess, I'm interested in Mike Bell's thoughts on that.

8 DR. BELL: Well, at this point, high thermal loading
9 being an advantage is DOE's proposal. NRC hasn't accepted
10 that. Every other country in the world is going in the other
11 direction as far as I know.

12 I guess I'd like to go back and comment on
13 something that Dr. Domenico said which was all the
14 uncertainties involved in the calculation of ground water
15 travel time. Well, here, we're talking about essentially
16 something--we're trying to get a handle on pre-emplacment,
17 undisturbed by the construction of the repository,
18 undisturbed by all the so-called unanticipated processes and
19 events. Yet, you want to rely exclusively on an EPA standard
20 in which you have to not only calculate ground water flow,
21 but you have to fold in all the low probability events like
22 faulting, volcanism, human intrusion. To me, that seems like
23 an incredibly more complex analysis, and I guess in the
24 Commission's view you have less chance of having reasonable
25 assurance simply relying on that analysis than also having

1 some of these subsystem requirements.

2 DR. DOMENICO: Is there a question in there, Michael,
3 someplace? What are you asking me?

4 DR. BELL: It's really a comment that I think I'd like
5 you to perhaps think about. Which of these is really going
6 to be more difficult to demonstrate that public health and
7 safety is protected? If you can show I've got three
8 independent and somewhat redundant subsystems or if I just
9 have this total thing that everything is flexible and it's
10 going to take into account everything that can happen in the
11 next 10,000 years, you know, maybe more if some of the things
12 we hear from--

13 DR. DOMENICO: Yeah, I understand, but keep in mind, we
14 have three, four conceptual models of flow. Some will give
15 travel times that are as long as we want them if we want to
16 keep it in the matrix and others will send it through in a
17 few tens of years, perhaps. So, there is a lot of
18 uncertainty in a conceptual model of the saturated and
19 unsaturated zone at Yucca Mountain. There's a lot of
20 uncertainty in the database and there's a lot of uncertainty
21 about the thing people like to call fastest pathway, whatever
22 that is, and however you're going to find it. That becomes
23 part of geologic detail that you just do not discover too
24 readily. It's hidden geologic detail. So, there's
25 uncertainty in all of them, certainly. I'm certainly aware

1 of that.

2 I don't mean to make light of the other facts that
3 are a part of the investigation, but my question, you know,
4 was related to the following. There's a budget and, you
5 know, how many resources are being expended to work out
6 something like ground water travel time under a natural state
7 from undisturbed zone that's not there yet and we're not
8 going to know its limit and that will not give any measure of
9 system performance? So, how much money do we allocate to
10 that?

11 MR. MURPHY: Well, it gives a measure of the geology's
12 performance though, Pat. And, that's the whole point.
13 That's what the NRC said when they adopted these regulations.
14 I think that's probably what Congress said when they told
15 DOE and the NWPA to specify factors which would disqualify
16 and qualify sites including hydrologic factors; be specific.
17 And, I think that's what they were talking about. It does
18 give a measure of the repository's performance. It gives a
19 measure of the ability of this piece of rock in this part of
20 the world, on this part of the globe, to isolate waste.

21 DR. DOMENICO: It's not my role to argue. I don't want
22 to argue. I'm just trying to find out what the various
23 positions are on this because--

24 DR. LANGMUIR: Travel time is not a measure of
25 repository performance. A measure of the system in the

1 absence of the repository, in the absence of a disturbed zone
2 which is not very realistic.

3 DR. DOMENICO: But, again, we're not here to argue.
4 We're here to find positions.

5 MR. MURPHY: Well, let me add another little bit of
6 confusion to the disturbed zone discussion. This is legal
7 confusion, not scientific confusion. But, both definitions,
8 DOE's and NRC's, both say that the disturbed zone depends on
9 the effect on repository performance. It doesn't say
10 negative effect or positive effect. It just says effect on
11 repository performance. We're all--I mean, everybody in this
12 room is operating on the assumption implicit in our
13 discussions that this does mean negative effect. But, what
14 would happen if someday somebody says, well, there is effect
15 on repository performance out to the accessible environment.
16 It may be good effect. It dried out all the rock and
17 nothing is moving, nothing can touch the waste packages.
18 This stuff is going to stay there for a million years. It's
19 great. But, its effect on repository performance was all the
20 way out to the accessible environment. Your ground water
21 travel time is zero; you flunk. But, we're ignoring that.
22 Everybody is assuming that effect means bad effect.

23 MR. BROCOUM: By coming up with an artificial criterion,
24 you could, in fact, be driving yourself away from optimizing
25 the system to give you the best overall performance which

1 would give you the lowest releases or the lowest doses to the
2 public. That's the issue here. Should you put your
3 resources into optimizing the system and understanding that
4 system or should you put your resources in evaluating an
5 artificial, arbitrary criteria which might have been good in
6 your early days when you're trying to pick a bunch of
7 different sites and you're trying to get some early
8 indication if the geology is good or bad. But, now, as we're
9 getting more sophisticated and we're trying to understand how
10 the whole--and, you really cannot talk about suitability of
11 the site without understanding about the whole system at
12 work. Is it a relevant thing anymore? And, I think that's
13 the issue on the table and DOE is arguing that it's not
14 relevant.

15 DR. CORDING: It seems to me at least the definition of
16 the disturbed zone needs to be treated with some
17 sophistication or understanding of what its impact is.
18 Certainly, if you're talking about good effects that are
19 further out, that that should be not used to define the
20 disturbed zone. From what I've seen of thermal effects and
21 underground construction effects, most of these disturbed
22 zones don't extend out very far. It certainly improves the
23 mechanical effects.

24 MR. MURPHY: Well, I agree with you, but until the 1st
25 Circuit ruled in 1987, nobody thought that taking a system

1 and engineering it and putting a highly designed and highly
2 engineered cask into a--and inserting it into the ground or
3 the wall of the repository constituted underground injection,
4 either.

5 DR. CORDING: Constituted--I'm sorry?

6 MR. MURPHY: Underground injection. But, you know, a
7 major part of the reason why the EPA standards failed the
8 judicial test in 1987 was because some Judges in Boston said
9 that burying radioactive wastes in canisters and in a highly
10 engineered repository could constitute underground injection.
11 So, all I'm suggesting, that there's more uncertainty
12 involved and more potential confusion surrounding the
13 definition of disturbed zone than we even discussed in our
14 formal presentations and it's, you know, probably time for
15 the NRC to step up to the bat and start answering some of
16 those questions.

17 DR. CORDING: It certainly needs to be handled with a
18 technical understanding of--at least, the current technical
19 understanding of what these things are involving at the
20 present time.

21 DR. DOMENICO: John?

22 DR. CANTLON: I'd like to hear NRC expand a little bit
23 on the timing issue in the uncertainty or in the disturbed
24 zone issue because that disturbed zone is going to be at
25 different places and different times and the disturbed zone's

1 impact on the site is going to be very different at different
2 times. Highly beneficial if you're dealing with a hot
3 repository very early and, perhaps later, in terms of
4 degradation of retention or sorption, radioactive ions may be
5 negative. Has any thought been given to how NRC is going to
6 pursue that if DOE makes an argument to go, let's say, toward
7 the hot repository?

8 DR. BELL: I guess all I can say is that we're looking
9 at it and we don't have the final position on that yet.

10 Let me go back to the earlier question from the
11 gentleman that came up to the microphone and asked about the
12 10%. I think it's perfectly--say, within the realm of
13 possibility that if we got to the point of license review and
14 DOE had, in fact, done what they were saying they were going
15 to do with the multi-purpose canister, which is now design a
16 canister that's going to last well in excess of 1,000 years,
17 and could also show NRC they meet the 10^{-5} release rate and
18 they meet the EPA standard and that the distribution of the
19 ground water travel times looks something like the curves
20 that we saw and the expected value of ground water travel
21 time is well in excess of 1,000 years, but it was a 10% or so
22 possibility that it might be shorter than 1,000 years, that
23 could be an instance where the Commission could say, yeah,
24 that's what we had in mind in terms of consideration of
25 uncertainty, and even though there is that possibility,

1 because we have all these other things, we still have a
2 reasonable assurance that health and safety is protected and
3 it could be licensable.

4 DR. DOMENICO: Well, it seems to me like, Steve, you
5 just had your program outlined for you for the next four
6 years. You just got all the requirements we needed for
7 license. Those seem to be priority items. Why I was
8 concerned about--well, maybe it's not important. Let me--
9 I'll ask a related question.

10 Dwight Hoxie was very anxious to say something
11 about this. Is he still here? Dwight? Did he leave?

12 UNIDENTIFIED SPEAKER: He's speaking tomorrow.

13 DR. DOMENICO: He wasn't that anxious. But, Don
14 Langmuir knows something about this, too.

15 Is there agreement on the definition of ground
16 water now in terms of the problem of gas transport, vapor
17 transport? Hoxie was saying something--well, you know what
18 he was saying.

19 DR. LANGMUIR: Well, I paraphrased the question, I
20 think, that came out of our discussions. And, bluntly, I
21 guess Mike or anyone else who is willing to comment, is there
22 kind of an NRC regulation that explicitly sets a standard for
23 gaseous radionuclide releases from a repository? Any kind of
24 an NRC reg that identifies that specific potential release
25 and sets a limit on it explicitly or is it all inferential?

1 Are gases like C¹⁴ specifically identified in the regs or is
2 something--

3 DR. BELL: I think the way that would come out is by the
4 standard that EPA eventually adopts. I mean, because there
5 is an explicit value or there was an explicit value in the
6 earlier EPA standard for Carbon-14 release and I anticipate
7 that the revised standard may have a value.

8 MR. MURPHY: There is no numerical standard. He's
9 correct. The only standard in the regs is the potentially
10 adverse condition. And, remember, a PAC has to--if DOE
11 cannot prove that a PAC is absent, then they've got to go
12 through certain steps and demonstrate that they've
13 characterized it adequately and evaluated, et cetera. But,
14 there is a PAC which says potential for the movement of
15 radionuclides in a gaseous state through air filled core
16 spaces of an unsaturated geologic medium to the accessible
17 environment. So if that potential exists, then DOE has the
18 burden to demonstrate it, that it doesn't--

19 DR. DOMENICO: But, that doesn't fall within the travel
20 time.

21 MR. MURPHY: No, no.

22 DR. DOMENICO: It has just to do with the release--

23 MR. MURPHY: No, no. It's entirely separate from travel
24 time.

25 DR. DOMENICO: So that anything going out as a gas, if

1 it goes out in 10 minutes, does not violate the travel time,
2 is that correct? Is that the position? Travel time of
3 ground water, by the way, is that right, because it's not
4 ground water? Just clarification.

5 DR. LANGMUIR: Same question, related. Are there
6 amounts identified?

7 MR. MURPHY: No.

8 DR. LANGMUIR: No numbers are assigned to the
9 permissible releases of radionuclide gases then in any
10 regulations?

11 DR. BELL: Well, not NRC.

12 DR. LANGMUIR: Not NRC's, but EPA--

13 DR. BELL: EPA is just a cumulative release by any and
14 all pathways.

15 DR. LANGMUIR: It's a cumulative.

16 DR. DOMENICO: I think the question is on the ground
17 water travel time which is our main focus. If there is gas
18 transport, the gas gets out in 500 years or so, this is not a
19 violation of the ground water travel time regulation. Is
20 that what I'm understanding? It may be a violation due to
21 the EPA standard, but no matter how fast the gas gets out,
22 it's not a violation of ground water travel time. Is that
23 true? In a sense, it's not ground water.

24 MR. MURPHY: Well, it depends on whether or not you're
25 defining ground water to include vapor.

1 DR. DOMENICO: That's Hoxie's argument. Do you remember
2 his argument?

3 DR. LANGMUIR: The regs you read, Mal, indicated that
4 vapors weren't allowed. This was an NRC reg, I believe,
5 vapor releases--but these are not vapors. A vapor, if you're
6 rigorous about it, it's the gas phase of a liquid. So, it
7 could only be water vapor we've been talking about here. It
8 can't transport very much.

9 MR. MURPHY: I understand that, yeah.

10 DR. DOMENICO: Well, you speak of technical legal
11 arguments--

12 MR. MURPHY: No, I'm just saying what the NRC said when
13 they amended their definition of ground water in 1985 to take
14 care of the unsaturated zone problem. The NRC staff in its
15 statement of considerations specifically said vapor is a
16 problem. Vapor can transport contaminants and it's a problem
17 because in an unsaturated geologic media, water travels in
18 both the liquid and the vapor phase, and that, to me, means
19 the NRC meant to include the vapor phase of water in its
20 definition of ground water. If they didn't mean that, it is
21 incumbent upon them to do something officially either to
22 change the regulations or to officially interpret the
23 regulations to take care of that. But, as the record now
24 stands, the language of the regulation itself and its
25 regulatory history, I have to conclude that the definition of

1 ground water in 10 CFR 60.2 includes water in its vapor
2 phase, and that there are some regulatory implications of
3 that with respect to ground water travel time.

4 MR. BROOKS: Water in its gas phase was not intended to
5 be included in ground water travel time is the current
6 staff's position. We're looking at it. We are still
7 considering other definitions. We're considering the parts
8 of the statement of considerations that have been cited.
9 But, the present staff position, not ratified by the
10 Commission, is that it did not include gaseous release.

11 DR. DOMENICO: Rally, do you have a point?

12 DR. RALSTON BARNARD: I'd just like to say this may be a
13 perfect place where the issue of significance comes into
14 effect because if, indeed, it is a fast transit time, but as
15 Don Langmuir points out, there's no significant amount of
16 radionuclides that could be transported by this medium, then
17 it doesn't matter. And, you can come up with what Mal's
18 words were, a strong and well-crafted statement of why it
19 isn't important to have to worry about it.

20 MR. MURPHY: That's right. That's exactly what I said
21 in my presentation. If, indeed--and, I'm not saying it is or
22 isn't--but if, indeed, that water vapor traveling up to the
23 land surface because of the thermal effects of the repository
24 doesn't have the potential of hurting anybody, then the NRC
25 is going to point to its "or such other" language and say

1 that's not a problem. We're not going to worry about it.
2 But, it's something that they will have to look at, I'm
3 suggesting.

4 DR. LANGMUIR: Just trying to tie it all together, the
5 Board has heard discussions over the last year or two of
6 source term. That was one of the meetings that I was very
7 much involved in. And, I guess, I'm looking for a systems
8 approach to all of this. I see source term and concerns
9 about releases of radionuclides from waste. I see unsat zone
10 models looking at transport throughout that unsat zone,
11 attempts at Livermore to look at the thermal effects in the
12 disturbed zone, and now we finally get to the beginning of
13 ground water travel time. And, I wonder if all of these
14 other things that I just mentioned are being factored in as
15 the input to the ground water travel time calculation or not.
16 Where do you start when you're concerned about a
17 radionuclide being released from a repository because it
18 certainly starts at the waste package? It's source term,
19 it's near-field, it's far-field, it's in the disturbed zone,
20 and then it goes on out. And, I don't see the system being
21 looked at unless this whole thing is being analyzed.

22 MR. MURPHY: But, it's pre-waste-emplacement ground
23 water travel time. I don't see how you can look at source
24 term.

25 DR. LANGMUIR: I know, but should that really matter?

1 You're saying it's pre-waste-emplacment, but then you're
2 saying you can't start it until outside the disturbed zone.
3 Well, that's post-emplacment.

4 MR. MURPHY: No, I didn't write those--

5 DR. DOMENICO: I guess that's the answer then.

6 Are there any--sure?

7 MR. LUGO: You just put another confusion or
8 inconsistency in the regulation in that the only reason, like
9 Mike said, why disturbed zone was first invented was just
10 because you didn't want to calculate what was going on within
11 that zone because it was just too complicated. But, when you
12 do the total system performance, that's exactly what you have
13 to do. You have to suffer in the source term, you have to
14 know what's going on in there, and then further out. So,
15 that's something else that even adds to that inconsistency in
16 what does it really mean to calculate ground water travel
17 time.

18 DR. LANGMUIR: Well, following that up, I guess I would
19 ask if the DOE is consciously trying to persuade the NRC, if
20 you like, and take a position themselves which incorporates
21 all of this in a systems approach?

22 MR. BROCOUM: We have taken a position in our report to
23 the National Academy. We also saw that that whole evaluation
24 as being a chance to re-look at all the regulations. In
25 other words, the law requires National Academy to have their

1 report, EPA to conform their regulation to that report, and
2 the NRC to conform their regs to the EPA. So, if they go
3 through those steps, we would assume that the NRC would re-
4 look and we would issue a draft which we would comment on.
5 And so, we may look at all that. We're advocating a systems
6 approach here. That doesn't mean when you understand a
7 system that you can't look at each individual barrier to see
8 how it contributes and what the concerns of that barrier are.
9 We're not trying to get away from doing that. We're trying
10 to get ways to rationalize the regulations with respect to
11 public health and safety and not divert our resources to
12 worrying about things which may not truly contribute; in
13 fact, may in the extreme keep us from actually coming up with
14 the best and most optimized system. So, yeah, we look at the
15 801 activity as a way of revisiting all the regulations and
16 maybe updating them, if you like, based on our current
17 knowledge.

18 DR. BELL: Well, and when we promulgated the ground
19 water travel time requirement, it was our belief and I think
20 it still is that you're not really diverting resources. Just
21 like we heard from both the M&O and Sandia this afternoon,
22 you're going to have to do most of that analysis and you're
23 going to need that data anyway.

24 DR. DOMENICO: I don't agree with that. All due
25 respect, James Duguid, all due respect. The performance

1 assessment model that I'm familiar with of little lines of
2 one-dimensional velocity, their velocities are different.
3 They incorporate little dispersion, of course, longitudinal,
4 which you'll never measure. They incorporate retardation
5 which you can handle pretty good. And, they incorporate
6 decay, as well as 7 or 8 daughters. I don't think you need a
7 number of probability distributions for that analysis as you
8 would need in the stochastic analysis. That's number one,
9 make stochastic analysis. You know, it's reasonable. I
10 don't think you would need the detail of the flow patterns
11 that you're doing in that particular analysis because I think
12 by your own admission those are relatively simple, analytical
13 performance assessment models and you've made a strong
14 argument to NRC why you should use them. So, model the data
15 that you're collecting in the ground water travel time study.
16 I feel it is not multi-purpose data, that cannot possibly be
17 incorporated in the simple performance assessment models.
18 It's good data, but it can't be incorporated. That's my
19 point.

20 DR. DUGUID: I tend to agree with some of that. But, my
21 point is that you need to look at the sensitivity of some of
22 those things on the distribution so you know which
23 distributions you put in the performance assessment models
24 and I think that's what's going to come out of this.

25 DR. DOMENICO: I tend to agree with that. That's a good

1 statement.

2 Is there any other--you know, due to my skill and
3 cunning, we should have finished five minutes ago. Is there
4 any pressing important questions?

5 DR. DUGUID: There was a point that I wanted to make.
6 We now have the Academy looking at the standard and what it
7 should look like and I would guess that the ground water
8 travel time calculation will look somewhat different
9 depending on the type of standard and the time frame of that
10 standard. And, if you have a 10,000 year standard, it would
11 look different than if you had a 100,000 year standard
12 because you'd have to consider some different things. So, I
13 think we're not going to have the whole answer before we see
14 how--or the direction that the new EPA standard might take.

15 DR. DOMENICO: My understanding is that the Academy is
16 not the one that promulgates the standard.

17 DR. DUGUID: I understand that. We'll get some
18 indication when they make their recommendation.

19 DR. DOMENICO: Are there any further points?

20 (No response.)

21 DR. DOMENICO: Recess until tomorrow, 8:30 a.m.

22 (Whereupon, at 6:00 p.m., the meeting was recessed, to
23 reconvene at 8:30 a.m. on Tuesday, September 13, 1994.)

24

25

1

2

3 ; ;