

UNITED STATES
NUCLEAR WASTE TECHNICAL REVIEW BOARD

MEETING OF THE PANEL ON HYDROGEOLOGY & GEOCHEMISTRY
FRACTURE FLOW AND TRANSPORT IN ARID REGIONS

June 26, 1995

Holiday Inn Crowne Plaza
San Francisco Airport
600 Airport Boulevard
Burlingame, California 94010

BOARD MEMBERS PRESENT

Dr. John E. Cantlon, Chairman, NWTRB
Dr. Donald Langmuir, Session Chair
Dr. Edward J. Cording

CONSULTANTS

Dr. Patrick A. Domenico
Dr. Dennis L. Price
Dr. Richard Grundy

NWTRB PROFESSIONAL STAFF

Dr. Victor Palciauskas
Dr. Carl Di Bella
Dr. Daniel Fehringer
Mr. Russell McFarland
Dr. Daniel Metlay
Dr. Leon Reiter

NWTRB STAFF

Ms. Linda Hiatt, Management Assistant
Ms. Davonya Barnes, Staff Assistant

I N D E X

	<u>PAGE NO.</u>
Welcome and Opening Remarks	
Donald Langmuir, Session Chair	3
Nuclear Waste Technical Review Board (NWTRB)	
Session Introduction	
Donald Langmuir, NWTRB	5
Negev Desert experience	
Ronit Nativ, Hebrew University of Jerusalem.	7
Experiences in other arid environments	
Bridget Scanlon, Bureau of Economic Geology, University of Texas.	28
Infiltration and initiation of fracture flow at Yucca Mountain	
Alan Flint, U.S. Geological Survey	52
Geochemical evidence of fracture flow in unsaturated tuff, Apache Leap, Arizona	
Tom Nicholson, NRC	83
Gregg Davidson, Department of Hydrology and Water and Resources, University of Arizona	85
Five Minute Presentations	
Scott Tyler, Desert Research Institute, State of Nevada	109
Ron Green, CNWRA	115
Richard Luckey, U.S.G.S., Water Resources Division	119
Parvis Montazer, MEI Corporation, Nye County	122
Roundtable Discussion.	125
Adjournment	172

1 Systems Engineering at Virginia Polytech Institute and State
2 University.

3 Also seated at the head table today is Dr. Victor
4 Palciauskas who is a member of the Board's Senior Technical
5 Staff and who supports this panel among other activities. I
6 wish to express my special thanks to Victor for his efforts
7 in planning and organizing this meeting. Several other Board
8 staff members are with us today. Among the Senior
9 Professional Staff members are Dr. Carl Di Bella, Russ
10 McFarland, Dr. Daniel Metlay, Dr. Leon Reiter, Dr. Daniel
11 Fehringer, and Richard Grundy, our consultant to the
12 Congress, is with us today. We also have Linda Hiatt in
13 charge of meeting arrangements at the back of the room, and
14 Davonya Barnes, a member of the support staff.

15 Our Board was created by the 1987 Amendment to the
16 Nuclear Waste Policy Act. Board members are nominated by the
17 National Academy of Sciences and appointed by the President.
18 The Amendments Act provides that the Board shall evaluate
19 the technical and scientific validity of the Department of
20 Energy's activities under the Nuclear Waste Policy Act. The
21 Act itself was passed in 1982 and charges the DOE to develop
22 repositories for high-level waste and spent nuclear fuel
23 following an ordinary--not ordinary, totally un-ordinary--an
24 orderly process of repository site characterization,
25 approval, and construction. Currently, only the potential

1 repository site at Yucca Mountain, Nevada is being evaluated
2 as directed in the 1987 Amendments Act. Site-specific work
3 for a second repository is not authorized and cannot be under
4 current law until the year 2007 at the earliest.

5 An adequate understanding of fracture flow and
6 transport, the topic of this meeting, is essential to a
7 determination that Yucca Mountain is a suitable site for a
8 repository and subsequent licensing for construction and
9 operation. We have set out several goals for this panel
10 meeting. Historically, it has often been assumed that
11 unsaturated zones in arid climates were potentially good
12 sites for isolating waste. This assumption was based on the
13 "common knowledge" that flow in low permeability rocks is
14 generally very slow and that, although the rocks might be
15 fractured, the fractures are dry most of the time. Even
16 during periods of extreme precipitation when water penetrated
17 the alluvium and saturated the fractures, it was thought that
18 fracture matrix interaction was sufficiently strong that the
19 water would quickly imbibe into the matrix preventing deep
20 penetration. Thus, transport of contaminants through these
21 zones was thought to be primarily through the matrix and
22 extremely slow. Significant fast transport through fractures
23 was considered unlikely. Recent evidence challenges this
24 view.

25 The purpose of this meeting is to learn about such

1 evidence from experts who have studied transport in arid
2 climates in various regions around the world. We are
3 particularly interested in delineating the physical
4 parameters and processes that control the infiltration of
5 water and result in transport in arid regions such as Yucca
6 Mountain. In particular, we would like to address and
7 hopefully answer questions, such as, are present conceptual
8 models of flow and transport adequate for modeling in arid
9 environments? For example, is the composite porosity model
10 reasonable in modeling in arid environments such as Yucca
11 Mountain? Second, do we have a sufficient understanding of
12 the important parameters that control transport processes in
13 these environments? Third, what measurement techniques can
14 be used to quantify flow and transport in these environments?
15 What are the limitations of these techniques? For example,
16 can the fast pathway be detected and predicted, and can the
17 significance of such a pathway be quantified? Fourth, how do
18 the existence and potential importance of fast pathways
19 influence our views about the suitability of Yucca Mountain?
20 How will groundwater travel time and total system
21 performance assessment computations be affected by the site-
22 specific isotopic age data that are and will be accumulating?
23 These are some of the questions I hope we will consider
24 today and tomorrow.

25 I know that each speaker has much more than could

1 be said in his or her topic area than fits in the time
2 allotted. I'm very concerned that we stay on time so as to
3 allow those speakers late in the day their fair share. So, I
4 will ask all speakers to stay close to schedule. I will help
5 by reminding you as the end of your time of presentation
6 approaches. An essential part of this meeting is the
7 discussion of the work presented. There is time scheduled
8 after each presentation for questions and discussion. After
9 each talk, I will solicit questions from the Board, staff,
10 and if time permits, from the floor. If I don't get to your
11 question or comment, please try to hold it until the
12 roundtable discussions or the public comment period at the
13 end of the day.

14 If there are no general announcements--if there
15 are, this is a good time for it. If not, let me introduce
16 our first speaker, Dr. Ronit Nativ, who probably set the
17 record for having to travel the furthest to make a Board
18 presentation of any speaker we've invited to our meetings.
19 Dr. Nativ is from the Hebrew University of Jerusalem and will
20 speak to us about her studies of contaminate transport in the
21 Negev Desert.

22 Dr. Nativ?

23 DR. NATIV: I'm going to talk today on groundwater
24 recharge and solute migration in a fractured chalk aquitard
25 in the Negev Desert in Israel. This is the work that was

1 done by my colleague, Eilon Adar, and myself, our two
2 graduate students, Ofer Dahan and Ilan Nissim, and a
3 colleague, Mebus Geyh, from the Geological Survey in Germany.

4 This is a map of central Israel, the Negev Desert,
5 Tel Aviv is here, Jerusalem here, the Mediterranean Sea. The
6 framed area is enlarged over here. Over the past 18 years,
7 the North Negev Desert in Israel has become a prime target
8 for siting a variety of chemical industries that have been
9 rejected by or transferred from more populated areas. In
10 addition, the National Site for Hazardous Waste is located
11 here and has been operating there since 1975. The area is
12 pretty arid. Annual precipitation vary anywhere from 50
13 millimeters per year to 200 millimeters per year in the North
14 Negev Desert.

15 Okay. This is how the area looks like. This is
16 the least cover that can be found all over the North Negev
17 Desert. Only the ephemeral streams contain some sort of
18 vegetation. And, when the cover is missing, what we get
19 to see here is fractured chalk, eocene chalk in outcrops,
20 across the entire Central and North Negev Desert. I bold
21 this line so we can get some impression of how intensive the
22 fracturing and the fissuring is. Now, the aridity of the
23 area up to 200 millimeters per year and the low permeability
24 of the chalk aquitard, chalk formations which run up to 2
25 millidarcies, that's all, have been considered the major

1 asset in preventing potential groundwater contamination
2 resulting from all the industrial activities taking place in
3 the North Negev. However, the effectiveness of this
4 combination is a variable to contaminate migration. Low
5 permeability chalk in arid areas was challenged once
6 monitoring wells surrounding the National Site of Hazardous
7 Waste were placed in '85.

8 What you see in the upper triangle is the distances
9 between the three monitoring wells. On the left bottom is
10 chloride concentrations way above the background salinity,
11 and these are the water level fluctuations starting from '85
12 up to '90. All three wells contained high salinity way
13 beyond the background salinity, organic materials, heavy
14 metals. Remember, the National Site started to operate in
15 '75; I'm talking '85 and on. So, within 10 years, a vadose
16 zone of up to 20 meters experienced solute migration from
17 land surface to the water table.

18 Although the chalk is not a major water source for
19 the Negev area, this is just a geological section. The light
20 blue on top is the eocene chalk that we are talking about.
21 To the left top is the coastal plain aquifer. In the bottom
22 is the Judea cast limestone aquifer. And, although the chalk
23 aquitard is not a major water source, its relationship with
24 the adjacent aquifers, the coastal plain aquifer and the
25 underlying limestone aquifers, are not clear and our source

1 for concern, once water in the chalk becomes polluted.

2 In order to evaluate the potential damage, we
3 studied the origin and hydrology of the aquitard. We looked
4 into 23 wells marked here in black dots all over the area.
5 We monitored them for one year for water level electrical
6 conductivity. We sampled them twice for both isotopic and
7 chemical composition and this is what we found out. We found
8 it was quite clear by looking at the outcrops that the chalk
9 is fractured and fissured. We also found secondary
10 mineralization within the fractures. The fractures contained
11 either oxides--in this case, it's manganese oxide--or gypsum,
12 as you can see on top of that fracture.

13 In addition, we were able to observe seasonal
14 fluctuations in the water level. Every single well displayed
15 some sort of seasonal variations in the water table. These
16 are just three examples out of the 23 wells which we
17 monitored. These slides would show carbon-14 in the upper
18 layer in the upper numbers and tritium in the bottom two
19 numbers. Almost every single well contained tritium in its
20 groundwater, and I would like to remind you that, I think,
21 within a decade, contamination of groundwater. And, finally,
22 there is this disturbing similarity between precipitation
23 marked here in black dots and groundwater marked here in open
24 circles.

25 So, looking at the fissures and the fractures and

1 the secondary mineralization and the evidence of water
2 recharge is displayed by seasonal fluctuations of water
3 level. Contamination in groundwater is indicators for fast
4 moving tracers from land surface and no obvious evaporation
5 on top of land surface in a desert area. It all means to us
6 that basically just from information in the saturated zone
7 that water and solutes shortcut through the low permeability
8 chalk using the fractures and the joints as the pathways in
9 escaping evaporation.

10 Now, the third mechanism of groundwater recharge
11 and contamination was examined more closely in the vadose
12 zone. We cored six boreholes all the way to the vadose zone
13 which was 20 to 28 meters below land surface. These are the
14 various boreholes. This was a control. This was the
15 industrial site. We cored it with a special, largely--grade,
16 foundation--grade and the purpose was, first of all, to get
17 some dry core rock samples for various profiles and to
18 observe the vertical fracture distribution with depths in
19 these cores. What did we actually--we used the water
20 extracts from these cores for taking profiles to estimate
21 water-percolation rates. We looked at chloride profiles to
22 assess the nonreactive solute transport. We looked at
23 bromide profiles in these cores to evaluate normally active
24 contaminant transport since in this industrial zone, there is
25 a plant producing bromide variabilities. We looked also into

1 deuterium and oxygen-18 profiles to assess evaporation near
2 land surface, at land surface, and what's going on in that.

3 These are the various profiles. I prefer to
4 present just four of them. In four boreholes, RH2, RH8,
5 RH10, and RT18, this is depth in all of them. The contact
6 between the undisturbed chalk and the unconsolidated
7 sediments is marked by these small arrows. Water table is
8 marked by the upside down triangles. What we have on the
9 axis is water content in percent, tritium in tritium units,
10 chloride content in--per 100 grams of dry rock, bromide, and
11 bromide to chloride ratios. And, I'm going to discuss those
12 profiles in the coming few minutes.

13 First of all, we observed very high moisture
14 content in the vadose chalk. You can see or perhaps you
15 can't and I should help you see by telling you what you
16 should see. The water content here goes up to 40% in these
17 boreholes. Forty percent is the proper porosity of the chalk
18 on the basis of co-analysis. So, we saw almost near-
19 saturation water content. Apparently, the very small pore
20 size of the chalk matrix inhibits gravity drainage and the
21 matrix remains almost fully saturated even in the unsaturated
22 zone except within the depth of direct influence of plants
23 roots which can absorb high suction.

24 We also observed the tritium front dated to
25 possibly 1963 in all coreholes at a depth of up to 2.5 meters

1 below land surface. Parallel to that depth, we also observed
2 salt peaks at a similar depth of up to three meters, the peak
3 of chloride and bromide in most of these boreholes. As we
4 looked at stable isotopes, we also saw positive values close
5 to land surface. As we go down with depths, the stabilized
6 composition is getting lighter. The salt concentration is
7 getting lighter, too, like non-diluted perhaps. The tritium
8 drops to zero except for some tritium spikes that can be
9 observed in most of the coreholes.

10 So, on the basis of mere saturation water content
11 in the vadose chalk, the low permeability of the chalk, two
12 millidarcies, the presence of tritium spikes below the
13 tritium front, vertical depletion of stable isotopes,
14 vertical dilution of salts, and the mineralization that I
15 mentioned earlier, we suggested that water entering the
16 fracture is not immediately imbibed by the matrix, as was the
17 general knowledge that was mentioned here earlier. Instead,
18 we suggested that water wets the fracture walls and rapidly
19 percolates through the major conduits, the fractures.

20 Now, there is one borehole here that might attract
21 your attention and this is RH8. That one allows us a unique
22 observation on a slight different setup. The unconsolidated
23 materials on top of the chalk here was relatively thick,
24 seven meters, as opposed to less than a meter and a half in
25 the other coreholes. This one was seven meters thick. If

1 you compare the profiles that we saw in this borehole to the
2 others, it's really clear to see that, first of all, the
3 tritium spikes are less obvious. The salinity here is
4 definitely lower than in the other boreholes. We don't see
5 that depletion of solutes--as was so obvious in the other
6 coreholes. What we think is that this thickness of the
7 unconsolidated cover overlying the undisturbed chalk is an
8 important control on the likelihood of initiation of fissure
9 flow. The much greater spread of four sizes in this material
10 provides a baffle for storage of rainwater and allowing it to
11 be released into the undisturbed chalk more slowly and,
12 hence, reducing the frequency of occurrence of fissure flow.
13 In addition, as shown up here, the stored water is available
14 for more efficient flushing of salts from the vadose zone
15 resulting in reduced salinity.

16 Water infiltration velocity along preferential
17 pathways in the chalk is somewhat reduced because of matrix
18 diffusion as documented in the profile here. As recharge
19 containing tritium, for instance, moves down through
20 fissures, a concentration gradient exists between the fissure
21 water and the relatively immobile water in the matrix pore
22 spaces of the blocks adjacent to the fissures. Under the
23 influence of this concentration gradient, tritium would move
24 down by continuous exchange between the matrix and fissures
25 through diffusion.

1 As part of our original study, we calculated the
2 infiltration velocity into the groundwater using both tritium
3 and contamination as tracers. We ended up with values
4 exceeding 1500 and 2400 millimeters per year, respectively.
5 The 1500 refers to the tritium which might be percolating in
6 from land surface to the saturated zone since the '60s and
7 contamination which had only 10 years from '75 to '85 before
8 it first showed up in groundwater. Now, these values have
9 been moderated by matrix diffusion already, but they are
10 still two to three orders of magnitude higher than the
11 calculated infiltration velocity if we look at the tritium
12 formed in the matrix or if we look at the bromide formed in
13 the matrix. Those are only 30 and 110 millimeters,
14 respectively. So, on one hand, there's evidence for
15 migration of tritium and contamination at that rate into the
16 groundwater and, on the other hand, this is what we see in
17 the matrix, in the vadose matrix chalk. And, again, we
18 concluded that it's the fracture flow which accounts for the
19 two order of magnitude of difference between these numbers.

20 As we presented these observations and conclusions
21 to all our peers, colleagues, German reviewers, and decision
22 makers in the Ministry of Environment in Israel--they, by the
23 way, decided recently to consolidate and move all landfills
24 in Israel to the eocene chalk assuming that the permeability
25 is so low that no one should be frightened because of

1 groundwater contamination. As we presented this data, we
2 faced many reservations and suspicions. In fact, many of our
3 observations that I just discussed now that we interpreted as
4 evidence for an active fracture control system were viewed as
5 evidence for stagnant immobile system.

6 What I'm going to do now until the end of my talk
7 is to present the report sheets that I have from our peers
8 who viewed them and hopefully convince them why our
9 interpretation makes more sense. In fact, I'm going to
10 discuss here the type of observations that one should look
11 for when evaluating the possibility of fracture controlled
12 flow in an aquitard. As you're well aware of, this is not
13 just an intellectual exercise since low permeability
14 environments are prime targets for siting repositories for
15 toxic, hazardous, and radioactive waste. It is these
16 continuities, such as fractures, joints, dissolution channels
17 that threaten the integrity of an otherwise great
18 hydrological barrier.

19 So, what are the warning signs that one should pay
20 attention to when assessing the suitability of an aquitard
21 for these purposes? I'll start with the saturated zone. The
22 presence of contamination and tritium in deep groundwater was
23 interpreted by us as an everyday fast migration from land
24 surface to deep groundwater and fissure flow. These
25 observations definitely disagree with the measure of low

1 permeability matrix and require bypasses.

2 The questions that we heard when we presented this
3 type of data--and this is how it looks like. I go back to
4 the data that you have seen, the slides. Carbon-14 on top,
5 tritium, two measurements on the bottom of each well. Forget
6 about the contours. I'll discuss them in a moment. They are
7 meaningless at that point. So, abundance of tritium and
8 contamination, what we heard was that it is quite possible
9 that tritium and contamination did not come from above, but
10 was more literally from adjacent streams where tritiated
11 water is flowing in the ephemeral waters. And, near the
12 industrial waste site, liquid waste water was released every
13 now and then and could have flowed laterally to adjacent
14 boreholes. So, no one needs the fracture flow in order to
15 get those tracers into our boreholes. The truth is that we
16 found contamination and tritiated water also in boreholes
17 that were far away from streams. So, this argument, we
18 think, falls down.

19 The same goes for the resemblance of precipitation
20 in groundwater as a--position of precipitation in
21 groundwater. A comparison of stable isotopes values in
22 groundwater and precipitation can shed light on the amount of
23 precipitation in surface water infiltration. In the Negev
24 Desert, evaporation is relatively high even during the rainy
25 season, the winter, and amounts to two to six millimeters per

1 day in January and October, respectively, when most
2 precipitation occurs. If rainwater concentration is slow and
3 contoured by the matrix low permeability, the water should
4 become isotopically enriched relative to the precipitation in
5 both oxygen-18 and deuterium as a result of its exposure to
6 evaporation. On the other hand, if--focused recharge by
7 other fracture network occurs, the isotopic composition of
8 the percolating water should remain constant and similar to
9 the composition of rainwater and this is what we get to see
10 here. The question that we had was again is it possible that
11 the similarity doesn't stem from fracture flow from above,
12 but from focused recharge through the porous riverbeds where
13 the ephemeral flow is stated only by extensive and
14 isotopically light precipitation during rain events. So, it
15 comes laterally rather than vertically. And, again, it was
16 possible to document light and isotopically similar
17 groundwater away from any ephemeral streams.

18 The other issue was more disturbing. This was the
19 heterogeneity of both chemical and isotopic composition of
20 groundwater. One would expect that adjacent wells that
21 belong to the same unit would display similar chemical and
22 isotopic composition. One should also expect some evolution
23 in age and in chemistry downgradient. The contours here that
24 you see are water potential or--head contours. So, the flow
25 according to the water level measured in these 23 wells is

1 going like that towards the coastal plain aquifer.

2 Now, there was no way we could document the
3 expected evolution of groundwater both in age and in
4 chemistry along apparent flow paths. This, for example,
5 carbon-14 here is about 34 pmc, and downgradient, it's
6 younger rather than being older, 92 pmc, and so on. So, we
7 couldn't demonstrate similar chemical and isotopic
8 compositions in adjacent wells and there was no expected
9 evolution in age and chemistry with the flow.

10 The interpretation was, of course, that if there is
11 no lateral flow, that water is confined in enclaves, the
12 groundwater is stagnant, and if the groundwater is
13 contaminated, we shouldn't be worried about it because it's
14 not flowing, it's stagnant. So, there is no risk involved.
15 Our response to this type of argument was that because flow
16 carries along fractures, the re-flow path cannot be directly
17 deduced from potential matrix surface maps. The connected
18 flow paths typifying the aquitard may account for the special
19 variations.

20 So far from evidence from the saturated zone, what
21 can we learn or what are the arguments coming from our data
22 in the vadose zone? First of all were the isotope profiles.
23 The tritium values were ranging anywhere from 12 to 24 in
24 the tritium front dating to the 1963, and this was held at a
25 depth of about two meters, two meters and a half, in most

1 boreholes. Below this depth is the unweathered chalk.
2 Tritium content dropped to zero with a few peaks at around 2
3 TU. Some of the peaks ranged up to eight and four TU and so
4 on. You can see them here. These are significant tritium
5 values as the detection limits for the enriched samples was
6 .6 tritium units. The prevailing tritium concentration in
7 groundwater in the vicinity of these boreholes was 2.3
8 tritium units. We interpreted these tritium spikes as
9 evidence for shortcutting water which bypassed the low
10 permeability matrix. The low permeability matrix only
11 controls the tritium front whereas the--water shortcutting
12 through the fractures account for the spikes here.

13 The question that we faced there was is it possible
14 that those spikes are contamination? Well, we feel very
15 comfortable with these spikes. The dry coring method that we
16 used in all boreholes, the zero values that we got from the
17 laboratory batches had only few increased tritium values and
18 the large deviation from background values, as you can see
19 here, suggest that at least some of these values are real.
20 In fact, we would argue that due to the core sampling
21 technique, the observed sporadic tritium peaks are probably
22 representative of the higher tritium concentration associated
23 with the fractures. Because of the small matrix volume in
24 the immediate vicinity of the fractures, these big values are
25 likely to have been diluted by a much larger volume of matrix

1 spawned water which was devoid of tritium.

2 Now, if we look at the depletion pattern of the
3 stable isotopes, there we faced another type of argument.
4 The general vertical depletion of the stable isotopes shown
5 here for oxygen-18 and deuterium remind some people of the
6 exponential shape of the diffusion controlled profiles that
7 were suggested by Zimmerman in the late '60s and others who
8 looked at stable isotope profiles in the vadose zone. What
9 they argued was that you can get these exponential type or--
10 shaped type profiles simply by molecular diffusion and no one
11 needs advection, you know, to come up with such a shape.

12 What we said and what we think is that although the
13 oxygen-18 profile looks pretty small, the deuterium is not as
14 monotonous. If we look also at the chloride profiles, they
15 are also quite spiky. No one can account for the tritium
16 spikes or the mineralization simply by molecular diffusion.
17 So, although one could see the resemblance in the oxygen-18
18 profile and argue for molecular diffusion, the other profiles
19 of the deuterium, the chloride, the tritium, and the
20 mineralization cannot be explained by simple molecular
21 diffusion and no advection involved.

22 Finally, the mineralization was the last issue that
23 we got criticized for. Mineralization of various oxides,
24 gypsum, and calcite with any fractures was interpreted by us
25 as a sign of active groundwater flow. We faced the question

1 that mineralization is evidence for fast flow and currently
2 acts as a flow barrier. Now, in order to assess that
3 argument, we looked at the tritium content in the gypsum
4 molecules in the secondary mineralization. What we found
5 out, that the water molecules in the gypsum all contained
6 tritium. We had like 25 samples taken from the fracture
7 fillings. Tritium in the gypsum varied anywhere between 1 TU
8 to 63 TU with a mean of 30 TU. And, these tritium values in
9 the gypsum suggested that either the mineralization is
10 recent, or alternatively, that water molecules within the
11 gypsum crystals recently altered by modern groundwater
12 flowing through the fractures. Again, tritium content
13 together with the moist filling indicated for us active flow
14 across the fractures.

15 The last thing that I would like to touch upon is
16 the sulphur isotope composition of the same gypsum. The
17 gypsum--the so-called ion--the so-called isotopic ratio, 34
18 to 32, in the gypsum was 15 to plus 15 per million. In
19 precipitation, it was plus 7 per million. In groundwater, it
20 was just in between, 9 to 13.5 per mil. And, again, the same
21 process was suggested by us. Precipitation that has light
22 sulfur ratio of 7 per mil would dissolve the gypsum with 15
23 per mil to generate groundwater with values in between 9 to
24 13.5 per million.

25 I'm done. Thanks for being patient.

1 DR. LANGMUIR: Thank you, Ronit.

2 Questions from the Board? Pat Domenico?

3 DR. DOMENICO: Was any attempt to arrive at any
4 correlations between the small variations in precipitation,
5 the variations in water salinity, and the variations in the
6 water level changes? Was there any attempt to correlate
7 those, at all? Or is it just they're quite too rapid and you
8 lose a lot of information?

9 DR. NATIV: Let me rephrase your question and make sure
10 I understand it. Are you saying that--are you asking whether
11 we compared the precipitation amount of the precipitation
12 concentrations?

13 DR. DOMENICO: The precipitation amount versus the water
14 level response to that, as well as the change in salinity in
15 the saturated zone that occurred in response to that?

16 DR. NATIV: This is something that we are going to do
17 just now because the type of monitoring are showing water
18 level fluctuations which were monitored once a month. So,
19 there was no way under these circumstances to watch for event
20 based response. Now, we are going into the boreholes with
21 pressure--and data loggers and this is exactly what I would
22 like to see. What is the type of fast response to a rain
23 event, to a flood event? Is it affected by percolation from
24 the vadose zone or perhaps really laterally as was argued by
25 some of our peers? So, this is a different type of operation

1 that we have studied only this year around the site of
2 hazardous waste where they finally figured out that something
3 more serious needs to be done there.

4 DR. DOMENICO: Thank you, Ronit.

5 DR. LANGMUIR: You have a very solid amount of data here
6 obviously on all the input parameters. I didn't hear
7 anything about precipitation chemists, but presumably you
8 have information on precipitation, isotopy, and chemistry?

9 DR. NATIV: Definitely.

10 DR. LANGMUIR: You've got vadose zone chemistry. You've
11 got groundwater chemistry. Have you taken that information,
12 and from it, backed out what you think the fraction of
13 fracture versus matrix water chemistries are contributing to
14 the groundwater chemistry? What percentage of those two
15 kinds of water have become groundwater chemistry? Have you
16 done that?

17 DR. NATIV: Yeah. In fact, this was submitted to
18 chemical geology, the very same question. We looked at the
19 entire component of the hydrological cycle from precipitation
20 to vadose water to groundwater and including surface water
21 which you haven't mentioned.

22 DR. LANGMUIR: Yes. Well, you argued that that was not
23 close enough, I thought, in this case to be an issue in your
24 system.

25 DR. NATIV: That's true, but we looked at it,

1 nevertheless, because it was important in desert--it's
2 interesting in desert conditions. Groundwater--let me put it
3 this way. The place where everything changes chemically is
4 in the vadose zone because this is the storage of salts.
5 This is where all salts are being stored, accumulated, and
6 then flushed down. Isotopically, it's precipitation that
7 controls. So, the salt comes mostly from the vadose zone.
8 The light isotopic composition, the tritiated water, the
9 modern waters show a much shorter residence time. So, there
10 are--I would consider this as a dual system. The vadose zone
11 which builds up salinity that is being taken or flushed down
12 by the fast moving isotopic and light and tritiated water
13 that comes from precipitation and perhaps surface water, too.

14 I don't believe that addresses your question
15 because I'm not talking about fractions now. I'm talking
16 about two sources in the most qualitative way and I realize
17 what I'm doing.

18 DR. LANGMUIR: Well, I know it's very difficult to take
19 your information and go to specific percentages or fractions,
20 but that's the kind of thing at Yucca Mountain we're worrying
21 about right now is how much of the flow is fracture-dominated
22 flow and how much of it might have gone through matrix.
23 Maybe, it ends up being a little of both going back and forth
24 which complicates the interpretation.

25 DR. NATIV: Exactly because if you look at the isotopes,

1 definitely it's not just water moving down and exchanging
2 with the fracture walls. When the fractures are being
3 drained, gas diffusion moves out and back into the fractures
4 and leaving a heavier portion behind again in the matrix.
5 So, it's an exchange process. I would say that most of the
6 groundwater is fed by fast precipitation and I'm not daring
7 to come up with a number. But, if it was matrix controlled,
8 we wouldn't have that modern water as groundwater. So, I
9 would say that most of it is contributed by the fast flow.
10 However, the salinity is a different story. It's the
11 exposure of the vadose zone, the upper vadose zone. to
12 extensive of a--throughout the year.

13 DR. LANGMUIR: There was one other thing which I should
14 have asked first in that I read your article, but I've
15 forgotten now whether all the contamination sources were dry
16 materials or that some were liquid wastes which, of course,
17 is an issue that we don't have at Yucca Mountain. We're not
18 going to have any liquid wastes, as such.

19 DR. NATIV: No.

20 DR. LANGMUIR: You're giving it a boost if you
21 distribute liquid waste with contaminants in it.

22 DR. NATIV: Well, the contamination that I was referring
23 to was dry.

24 DR. LANGMUIR: Was dry?

25 DR. NATIV: It's the National Site for Hazardous Waste.

1 So, there is an industrial area with a lot of waste storage
2 ponds and a lot of--and, there's a hydraulic head that
3 activates flow. This is one story. But, the monitoring
4 wells that showed contamination so fast were only around a
5 relatively dry site where we store organic materials,
6 batteries, stuff like that; very lethal wet material. So, in
7 that respect, it's closer to what you're talking about.

8 DR. PALCIAUSKAS: A brief question. You've mentioned
9 the fact that the chalk was very micro-porous and thus it
10 would be not too surprising that it was almost 100% saturated
11 in the matrix. But, that's just basically where most of the
12 water would be expected and it's consistent with the fact
13 that most of the infiltration would be through the fractures.
14 Is this picture consistent through the whole vadose zone,
15 that it is almost 100% saturated? Then most of the
16 infiltration would have to be occurring through the
17 fractures?

18 DR. NATIV: Well, the vadose zone is almost fully
19 saturated except for the last--for the upper two meters or so
20 where we have extensive evaporation and suctions by plant
21 roots. And, I think it's a combination of high moisture
22 content of the chalk combined with the low permeability of
23 the chalk that would push into fracture flow because chances
24 are that within a rain event, the amount of water that can
25 overcome the low permeability of the matrix without

1 significant hydrolic gradient is slim.

2 So, one should expect fracture flow under such
3 conditions. When I discussed it with Bridget two years ago,
4 that's what--this is something that came to mind that
5 whenever we have this combination of high porosity, high
6 water retention, and they'll fall very close to saturation in
7 the matrix combined with low permeability, this is where we
8 should be especially careful.

9 DR. DOMENICO: But, I think you suggested also that the
10 fractures overwhelmed the flow during your reasonably high
11 precipitation events and perhaps not so much during the low
12 precipitation events. Is that part of your conclusions?

13 DR. NATIV: It's not coming out of my conclusions
14 because I couldn't compare event base response, at all. This
15 is something I'm going to do now. All I could look is into
16 monthly measurements which wouldn't tell us about high or low
17 precipitation amounts and their input.

18 DR. LANGMUIR: Thank you, Ronit.

19 I think we're on schedule. Our next presentation
20 is titled "Experiences in Other Arid Environments", and the
21 speaker is Bridget Scanlon.

22 DR. SCANLON: I actually switched titles, but really
23 it's not that important. I'm going to review unsaturated
24 zone studies in general and talk about implications for
25 contaminant transport. Some of what I'm going to talk about

1 today will be the result of some of the discussions we had
2 during the Ward Valley meetings, the Ward Valley site,
3 proposed low-level waste site in California.

4 Unsaturated zone studies have been conducted in
5 arid sites for a long time. However, the earlier studies
6 focused mostly on groundwater resource evaluation, and for
7 these studies, a lot of them assumed early uniform recharge.
8 And, for evaluating water resources, it doesn't really
9 matter whether you assume early uniform recharge or not.

10 However, more recently, the focus has shifted to
11 waste disposal and contaminant transport and here it is
12 critical. Spatial variability in subsurface flow is really
13 critical. This seems a very basic concept. However, a lot
14 of people still use early uniform recharge rates to evaluate
15 contaminate transport. For example, some studies about two
16 years ago evaluating plutonium migration found DOE's Plantax
17 Plant in north Texas used early uniform recharge rates in an
18 area where most of the recharge is focused beneath playas and
19 got vastly different values than you would get if you used
20 spatially focused recharge.

21 Some of the issues that I'm going to talk about
22 today are what are the controls on--examine some of the
23 controls on subsurface flow including soil texture,
24 vegetation, topography, preferred pathways, and climate. And
25 then, another basic question for many sites is which way is

1 the water moving and this seems a very basic question, but
2 it's oftentimes very difficult to answer. Is it moving up or
3 down or laterally? I'll talk a bit about that. I'll show
4 some results from previous studies which show very variable
5 rates of water movement. Then, talk a little bit about
6 spatial variability in subsurface flow beneath washes,
7 playas, and also spatial variability in a more local scale,
8 preferential flow. Temporal variability in subsurface flow
9 related to seasonal variations in precipitation, annual
10 variability in rainfall, and also paleorecharge.

11 And then, I would also like to talk about the
12 mechanisms of flow, piston flow versus preferential flow, and
13 liquid versus vapor flow, et cetera. And, finally, we'll
14 discuss some of the techniques for estimating subsurface
15 flow. So, this can basically serve as an outline for my
16 talk, and I may as well stick it up there.

17 This is a review of some of the studies and I don't
18 really expect you to be able to read that, but studies that
19 have been conducted throughout the world on subsurface flow
20 in arid settings and the varying rainfall rates from 80
21 millimeters per year to 400 millimeters per year and the
22 techniques used to evaluate subsurface flow, environmental
23 tracers, physics, and the fluxes estimated for these
24 different sites from .03 millimeters per year to Ronit's data
25 where she estimates 110 millimeters per year, and then some

1 different types of settings. Based on reviewing data from
2 these various sites, we got some idea on the controls on
3 subsurface flow.

4 First, I would like to mention some terminology
5 concepts. People generally talk about recharge rates when
6 they're talking about subsurface flow in arid settings.
7 However, oftentimes, especially with the very peak and
8 saturated sections, it's difficult to determine from studies
9 conducted near the surface whether that would actually
10 recharge the water table. So, I think it's better to
11 restrict the use of the term "recharge" to cases where it is
12 highly likely that it is actually recharging the groundwater
13 and to use more specific terms; maybe "infiltration" for
14 water movement into the surface and "percolation" for deeper
15 penetration of water. And, if you don't really know which
16 way the water is flowing, if it's up or down or laterally,
17 then you should probably just restrict yourself to talking
18 about water fluxes.

19 DR. DOMENICO: Excuse me, that table, is that all of
20 those indicative of the unsaturated zone or are there some
21 saturated zone studies there?

22 DR. SCANLON: These are unsaturated zones.

23 DR. DOMENICO: All unsaturated?

24 DR. SCANLON: Yeah.

25 DR. DOMENICO: Thank you.

1 DR. SCANLON: So, to evaluate the controls on subsurface
2 flow examine soil texture, vegetation, topography, preferred
3 pathways, and climate. A lot of people suggested soil
4 texture is very important in controlling subsurface flow,
5 particularly the texture of the shallow surficial sediments
6 because they provide storage capacity and retain the water
7 near the surface where it is more readily evapotranspired.
8 And, this concept is used in the barrier design at Hanford
9 for the surface sediments and use a ticking off section to
10 retain 100 year storm or a 1,000 year storm or whatever.

11 And, the studies by Cook in Australia also
12 suggested that there was a negative correlation between water
13 flux and clay content in the upper two meters of sediments.
14 Some of the studies in that review showed higher fluxes in
15 coarse grained soils; for example, the sand dunes in Saudi
16 Arabia where you have 80 millimeters per year of rainfall and
17 you have 23 millimeters per year flux. That's up to 30% of
18 the rainfall infiltrating in that pretty coarse grain
19 section.

20 Variability in soil texture is also important. A
21 layering of sediments in natural capillary barriers and also
22 layers that may hold up water and form perched water
23 conditions. So, sufficient sediments and, I guess, the
24 thickness of sediments above fractured rock at Yucca Mountain
25 is pretty important.

1 Vegetation is also important in controlling water
2 movement. A number of studies have documented higher water
3 fluxes in bare soil than in vegetated soils. For example,
4 lysimeter studies by Gee and others and also by--in Las
5 Cruces. And, the most obvious demonstration of the effect of
6 vegetation is the tearing of vegetation in Australia where
7 the mallee vegetation was removed and fluxes increased from
8 .1 to .6 to 4 to 28 millimeters per year. Different types of
9 vegetation are not as effective in removing subsurface flow
10 or transpiring water. For example, there is very little
11 difference in the sandy soils with annual grasses at Hanford
12 versus the bare soil. So, you need to plant with the deeper
13 roots, et cetera.

14 Some studies have shown that plant roots may act as
15 preferred pathways. Tritium has been found down to 10 meters
16 depth in Australia and it is attributed to annual flow along
17 the eucalyptus roots. But, they go down to 20 meters. Most
18 shrubs in arid settings in the southwest are probably
19 shallower. Vegetation is pretty opportunistic and will
20 concentrate where there is quite a bit of water and you often
21 see vegetation concentrating in washes and fissure zones and
22 some of fissures in Texas are--by lineation of mesquite
23 trees.

24 So, where there is a lot of water movement,
25 vegetation will move in and then act as a pump and pump out

1 that water. And, Phillips has suggested that one of the
2 reasons we may not see large variability in subsurface fluxes
3 in arid settings in the southwest is because the vegetation
4 acts to remove a lot of the water and make a lot of different
5 sites pretty similar.

6 Topography, I guess, Alan Flint will talk some
7 about that this afternoon. But, where you have ponded water
8 conditions in the surface, you will get subsurface flow,
9 washes, playas, sinkholes in Australia have shown deep
10 tritium, and fissured sediments in Texas where there's
11 basically ponded water conditions.

12 Climate variation, a lot of people are asking when
13 you're talking about a site what is the long-term mean annual
14 rainfall of the site? And, really, I don't think that is a
15 very good indicator of subsurface flow because the seasonal
16 distribution of precipitation could be much more important
17 than the average precipitation. For example, winter
18 precipitation is much more effective in infiltrating soil and
19 moving down beyond the zone of evapotranspiration because ET
20 rates are much lower in the winter. Also, you have a lot of
21 interannual variability in rainfall in arid settings and you
22 may have no rainfall for 10 years and much higher than normal
23 rainfall, you know, in one year and that can more effectively
24 recharge the system.

25 And, chloride profiles in Australia and

1 southwestern U.S., reductions in chloride at depth have been
2 attributed to higher fluxes during Pleistocene times; Beatty
3 site, Nevada Test Site, et cetera. And, here is an example
4 of the some of the chloride profiles; the Ward Valley data
5 and Beatty data from a report by Prudic and you can see
6 extremely high chloride concentrations at Ward Valley and
7 also high peaks in the Beatty data, but a reduction in
8 chloride below the peak and, particularly, at the Beatty
9 site. This is attributed to higher recharge during
10 Pleistocene times when the climate was cooler and wetter.
11 Some people suggested maybe the reductions in chloride below
12 the peak could be a result of preferential flow. However, I
13 think if water is moving preferentially, you wouldn't expect
14 complete flushing of the chloride as you see at the Beatty
15 site. This is actually--I think, Prudic suggested this as
16 the an old paleo channel. Some more in Texas showing the
17 relationship between chloride concentrations and decreasing
18 fluxes to the peak and then increasing fluxes below peak and
19 then a higher recharge rates during Pleistocene times, 10,000
20 to 20,000 years. And, Nevada Test Site, I think, Tyler and
21 others report high recharge rates during the previous Glacier
22 period of 120,000 years, also.

23 And, lastly, preferred pathways and actually
24 fractures, dessication cracks, root tubules. I guess, most
25 of the documentation on preferential flow has been from

1 fractured rocks in arid settings and also, I guess,
2 dessication cracks and root tubules. But, I'll talk more
3 about that when I discuss the mechanisms of flow.

4 So, I want to move on from controls in subsurface
5 flow to talking about the direction of water movement. You
6 would feel if somebody asks you which way the water is
7 flowing, you couldn't answer the question because maybe you
8 didn't know much about the system. But, it's a pretty
9 difficult question in arid settings and there are a number of
10 reasons for that and some are that the fluxes in natural arid
11 settings can be extremely low relative to the uncertainties
12 of the techniques that we have to estimate these fluxes.
13 And, also, it still can be quite complicated because you can
14 have liquid and vapor flowing. You can have a variety of
15 driving forces; water potential, temperature, and osmotic
16 potential. And, also the flux direction can vary spatially
17 and temporally. I'll elaborate on that a little.

18 Liquid and vapor fluxes and liquid flux controlled
19 by hydraulic heads, some of matrix and gravitational
20 potential gradients, and vapor flux, isothermal vapor flux
21 controlled by major potential gradients and thermal vapor
22 flux by temperature gradients. So, in isothermal systems, if
23 you have upward decreasing matrix potentials, they have
24 upward water flux and vice-versa. However, in anisothermal
25 systems when temperature is also important, you have to

1 consider liquid and vapor movement and in the zone of
2 seasonal temperature fluctuations from two to ten meters, you
3 would have a net downwards thermal vapor flux. Below that,
4 you can have the effect of geothermal gradient resulting in
5 upwards thermal vapor flux. Then, the next water flux will
6 depend on the balance of these.

7 If we look at some water potential data for a
8 typical water potential profile from Texas--and this is
9 similar in Nevada Test Site, Beatty, and Ward Valley--water
10 potentials--this was sampled after a rainfall event. So, you
11 have high water potentials shown in blue, close to zero near
12 the surface, and then decreasing below the wetting front.
13 So, you have a pretty shallow wetting front and very steep
14 gradient there. But, below that, you have a gradual increase
15 in water potentials. And so, you have an upward decrease in
16 water potentials from about -4 to -12 and this suggests an
17 upward driving force for liquid in isothermal vapor movement.

18 We can also compare this to the equilibrium line.
19 This is basically a no-flow line where the major potential
20 force is balanced gravity. So, there's no flow. Water
21 potentials that clock to the left of the equilibrium line
22 suggest upward flow under steady flow conditions and to the
23 right suggest downward flow. So, these potential profiles
24 suggest that there has been a net upward flow of water and
25 this is similar of Beatty and all the other sites that I just

1 mentioned.

2 So, for some time in the past, we've had a net
3 upward flow of water and how long is represented by this is
4 difficult to determine. If you were simply relying on
5 evaporation alone, it would take a very long time, thousands
6 of years. But, if you include roots as a sink term, then it
7 may not take that long. At the Nevada Test Site, Sully and
8 others recently reported that below a depth of about 40
9 meters, the water potentials move to the right of the
10 equilibrium line and suggest downward liquid flow below that
11 point. But, also, they have an upward geothermal gradient
12 and Sully suggests that the upper geothermal gradient, upward
13 vapor flux balances the downward liquid flux and there is no
14 negligible flux. So, it's quite complicated and that's why
15 the direction of flow is sometimes a difficult question.

16 I'm going to skip down to mechanisms of water
17 movement. And, here, the two basic end members, piston flow
18 versus preferential flow, and most of the studies recently
19 have been focusing on preferential flow and it seems like,
20 well, flow is always preferential. You get the impression
21 that, you know, there's just no piston flow anymore. But,
22 piston flow is basically talking about displacement of the
23 initial water by the infiltrating water. Experiments
24 conducted at Las Cruces, infiltration experiments where they
25 applied two centimeters a day of rainfall for 80 days--they

1 did various experiments, but that was one of them--and they
2 visually observed the wetting front and they didn't see a lot
3 of irregularities. And, also, they looked at the--bromide
4 tracer and they looked at the position of the bromide tracer
5 relative to the pressure front. And, under piston flow
6 conditions, you would expect the pressure front to precede
7 the solute front by an amount equal to the displaced water.
8 And, they saw that at Las Cruces. And, also, as time
9 progressed, this separation should increase. A piston flow
10 is occurring and that was found. And, also, when they
11 increased the initial water, the separation showed increase.
12 So, all these findings were consistent with piston flow.
13 Chloride profiles in Australia after the vegetation cleared
14 show also the relationship between the pressure front and the
15 chloride front also suggested piston flow under those
16 conditions. And, chlorine-36 profiles, Gifford and some of
17 the profiles in Texas, single peak, suggests piston flow
18 conditions.

19 Preferential flow then, as you all know, refers to
20 water moving along preferred pathways and can include
21 macropore flow or other flowing along non-capillary size
22 pores, unstable flow where the velocity of the wetting front
23 increases with depth, and then you have fingering associated
24 with this and it can from organic-rich topsoils or various
25 other reasons and funneled flow where you have flow along

1 sloping sedimentary layers. And, I guess, most of the
2 evidence for preferential flow is provided by the two studies
3 that we're going to--Nativ and Fabryka-Martin and Al Yang's
4 tritium data. There's no real evidence for unstable flow in
5 arid settings. I think the reason is that you need to be in
6 the gravity flow regime for unstable flow to occur and maybe
7 the flux is too low and the soils are too dry for unstable
8 flow. The other thing is the importance of liquid and vapor
9 flow and this is important for nonvolatile tracers, tritium,
10 Carbon-14, and radium. And, it also comes into play when you
11 compare different tracers like tritium and chlorine-36. But,
12 I'm not really going to talk about that.

13 I just want to show some slides or some overheads
14 of fissure flow in Texas. This is where surface water--its
15 intercepts run off. So, there is ponded conditions. The
16 blue represents beneath the fissure and the green is 10
17 meters away from the fissure. You can see that the water
18 contents are higher beneath the fissure. The chloride is
19 flushed out, but it's restricted to the upper 10 meters and
20 then chloride increases to a value similar to the profile 10
21 meters away. It's a very localized effect. It would be
22 called more focused recharge. If some of the opponents to
23 Ronit's studies were suggesting recharge and then lateral
24 flow, there isn't really much evidence for a lateral flow.
25 And then, the water potential data, high indicating wet

1 conditions and then decreasing to values similar to the
2 profile adjacent to it. So, in this example, it doesn't
3 extend to the water table. I mean, it's fairly shallow; in
4 fact, 10 or 15 meters. And, there probably is some
5 preferential flow and probably is more lines of tritium
6 beneath this peak, but I think most of the flow is not moving
7 below this depth. And, I think the reason why we're seeing
8 this sharp increase in flow is probably natural capillary
9 barriers caused by the layering of sediments at this site,
10 some sandy layers.

11 We also did some tracer experiments. This is a
12 fracture. The term "fissure" is used to describe the gully
13 at the surface and then, beneath that gully, there's the
14 fracture that varies in width from three or four centimeters
15 to one or two centimeters and extends down to at least six
16 meters. Tracer experiment using bromide, et cetera, showed
17 that there was preferential flow along the fracture, as you
18 would expect, and not adjacent to it.

19 So, there are a number of issues with regard to
20 preferential flow. Can we estimate the relative importance
21 of piston and preferential flow for different types and
22 different size and also what is the importance of these two?
23 Preferential flow is probably not that important for the
24 contaminants like nitrate because you need to move large
25 quantities of those contaminants to exceed the health

1 standards. But, for something like a pesticide where it
2 exceeds health standards in part per billion range, then
3 preferential flow is pretty important. So, you need to
4 evaluate it with respect to the contaminates that you're
5 looking at. Also, continuity of preferred pathways is pretty
6 important in arid settings. Sediment type settings like Ward
7 Valley or Texas, if there aren't fractures--I mean, a lot of
8 the preferential flow would probably be associated with roots
9 and they don't extend very deep in the system. The local
10 input conditions, for a while it seemed people said that you
11 needed ponded conditions at the surface for preferential flow
12 to occur and now they've gotten away from that and said that,
13 well, you don't need ponded flow. But, you may not need it
14 for preferential flow, but I think if you have it then you
15 are much more likely to have preferential flow. Input
16 conditions are still important. And then, the interaction
17 between the preferred pathway and the surrounding matrix, if
18 your surrounding matrix is close to saturation, then it's not
19 going to be able to imbibe the water. Whereas in sediments,
20 if you have extremely dry sediments, you would expect that
21 the sediments would imbibe the water and for that you need to
22 evaluate the retention function and stuff like that. And,
23 also it's important, the flux. I mean, maybe the flux
24 through the preferred pathway is so rapid that the rate at
25 which it's being imbibed just doesn't have any effect. I'll

1 talk some about the techniques for evaluating flow in a
2 minute and then the types of information required for
3 modeling.

4 So, next, I want to move on to techniques. I'm not
5 really going to discuss any of the soil physics techniques,
6 but they are pretty important in providing us with an
7 understanding of current processes and what's going on at the
8 moment. We'll talk about the environmental tracers. I
9 presume most of you are familiar with the meteoric chloride
10 approach. Basically, the flux is equal to the chloride
11 deposition rate divided by the chloride concentration in the
12 soil water. So, if the deposition rate in the area is
13 constant, then the flux is inversely proportional to the
14 chloride concentration in the soil water. So, you can simply
15 use it qualitatively. If there is no chloride, there is high
16 flux. It has either flushed out any accumulated chloride and
17 it prevents the accumulation of chloride. If there is high
18 chloride, it suggests low flux.

19 There are a number of assumptions associated with
20 the chloride approach and some of these are being questioned.
21 For example, the downward flow assumption, I just showed you
22 some water potential data that suggests that net upward water
23 flux in the unsaturated zone in the southwestern U.S. is in
24 the top 10 to 15 meters, evidence for transient conditions,
25 Australia and southwestern U.S. associated with high recharge

1 during the Pleistocene and in Australia associated with the
2 removal of vegetation. So, steady state flow assumption does
3 not apply. And, do we really know what the chloride
4 deposition rate is? It may be difficult to estimate, but it
5 seems like when we use the prebomb Chlorine-26 ratios to
6 estimate chloride deposition rates, it seems pretty uniform
7 in different areas. So, here, just showing playa setting in
8 Texas where you can just use the chloride qualitatively. No
9 chloride beneath the playa and higher chloride in the inter-
10 playa setting.

11 Chlorine-36, you can use it in three different
12 ways. You can look at the bomb pulse signature, you can look
13 at temporal variations in cosmogenic production of chlorine-
14 36, or you can look at radioactive decay. Chlorine-36 is
15 pretty good because in arid settings generally we have high
16 chloride.

17 Limitations are that oftentimes the bomb pulses
18 within the root zone--however, that's good because it
19 suggests that the flux is low. In zones of high flux, for
20 example, beneath the playas and in fissure settings, the
21 chloride concentrations were too low to evaluate chlorine-36.
22 The cosmogenic production signature is only two times
23 greater than background and oftentimes not preserved probably
24 because of diffusion. And, temporal variations in cosmogenic
25 production would also lead to uncertainties in age estimates

1 based on radioactive decay.

2 So, lastly, tritium. Chlorine-36 indicates liquid
3 flow and tritium indicates liquid and vapor flow.
4 Limitations with this, the same as Chlorine-36. Oftentimes,
5 it's just found in the root zone. Natural arid systems have
6 low water contents. So, it's oftentimes difficult to get
7 sufficient water for tritium analysis and the samples can be
8 contaminated during collection. One of the issues at Ward
9 Valley was possibly occurrence of preferential flow because
10 of tritium found at depths down to 100 feet. From 3200 feet,
11 tritium levels ranged from one to two tritium units and were
12 greater than plus or minus two times the standard deviation
13 associated with the analysis. So, it suggested that they
14 were finding quantities of tritium at depth. However, it
15 could not be explained by vapor diffusion alone because most
16 of the tritium--most of the water molecules because of the
17 large density difference between liquid water and water
18 vapor, five orders of magnitude, most of the tritium was in
19 the liquid phase, and vapor diffusion in equilibrium with the
20 liquid just would not allow migration of the tritium to that
21 depth. It couldn't be explained by liquid diffusion because
22 at the low water contents at the site the diffusivity was too
23 low. So, it was attributed to the possible contamination
24 during sampling; took air samples, large volumes of air, and
25 could possibly be some leakage in the lines or some

1 contamination from present day tritium levels.

2 This is another example of tritium beneath the
3 playa in north Texas and you can see quite variable tritium
4 levels. This is a structured clay soil, and I think when you
5 get to this low water content, it corresponds to a sandy
6 layer and the highest tritium levels here--I think this can
7 maybe be attributed to the fractured clay soils contacting
8 the granular material and the end of the preferred pathways
9 and then moving out into the granular layers and then acting
10 as possibly a reservoir for tritium.

11 Then, we want to talk about how we can evaluate
12 preferential flow. In most cases, the preferred pathways are
13 vertical and so it's really difficult to intersect vertical
14 preferred pathways with vertical boreholes. I think the
15 tunnel boring at Yucca Mountain should give some direct
16 evidence possibly of preferential flow along fractures. In
17 shallow soil systems where it's a lot easier and where most
18 of the studies have been conducted in more humid settings,
19 they're still simply doing dye tracing studies using blue dye
20 or red dye or whatever to delineate the pathways and really
21 have not made much advances in quantifying the relative
22 importance of piston flow versus preferential flow. A recent
23 article in WRR in the structured clay soils suggested that
24 less than 1 to 2% of the flow was flowing along dessication
25 cracks in the clay and the rest of the water was flowing in

1 between the ped surfaces, 6% flowing between ped faces. So,
2 it's quite difficult to evaluate the relative importance.
3 But, sampling groundwater provides good evidence. It
4 integrates a larger area and can be a good way of evaluating
5 preferential flow also. For example, if there are perched
6 aquifers at Yucca Mountain, then sampling for bomb pulse
7 tracers, et cetera, would be important.

8 Soil physics information is important for
9 understanding the processes. And, in sediment settings,
10 we've been monitoring different soil physics parameters for
11 seven or eight years and we haven't found anything to suggest
12 that there is a bypass flow in these sediment settings. But,
13 they may be able to find some information in the fractured
14 rock.

15 And, environmental tracers are good, but there
16 sometimes can be a lot of explanations for different types of
17 tracer distributions and it's not a unique solution. For
18 example, if you have levels of chlorine-36, 490 or something
19 times 10^{-15} , it could be prebomb or again it could be post
20 bomb. It could be extremely rapid flow. So, you have to
21 consider a lot of factors. I think, basically, based on the
22 discussions for Ward Valley, you have to include all the
23 different types of information that you have; soil physics,
24 environmental tracers, and come up with a comprehensive view
25 of what you think the processes are and how important the

1 different processes are.

2 So, to conclude, I come back to the basic issues;
3 these various factors that are important in controlling
4 subsurface flow with regard to Yucca Mountain. The thickness
5 of the alluvial cover may be quite important and also
6 vegetation. Most of the hydrologic models have basically
7 excluded vegetation. I think we need to start considering if
8 it's important. The direction of water movement as more
9 information becomes available, we get a better understanding
10 of what are the controls of water movement in different
11 settings. Spatial variability, focused recharge versus he
12 preferential flow. I think, oftentimes, some people like to
13 call focused recharge beneath playas or washes macroscopic
14 scale preferred pathways, Gee and others a couple of years
15 ago, but other people distinguish preferential flow as
16 fractures and cracks and stuff like that. But, I think,
17 oftentimes, when you have focused recharge, you can also
18 have--more likely to have preferential flow associated with
19 it. Then, the temporal variability, episodic recharge. We
20 usually use recharge, we say millimeters per year, and
21 oftentimes that's for comparison purposes between different
22 techniques. But, it may be better to say millimeters every
23 ten years because you might get recharge only one year or
24 flux only one year.

25 DR. LANGMUIR: Can you wrap it up, Bridget? You're over

1 schedule here by five or six minutes.

2 DR. SCANLON: Oh, okay. Well I'll just push.

3 DR. LANGMUIR: Okay. All right.

4 Questions from the Board? We're going to get you
5 to comment on everyone else's talk, I think, later on. We'll
6 get you involved in that way, I think. Any questions?

7 DR. PALCIAUSKAS: I noticed in one of the studies you
8 mentioned that removing the vegetation increased the
9 percolation or infiltration by 40 fold in one particular
10 area. That is an interesting piece of information because if
11 one has a regulatory type of a phenomena for 10,000 years, it
12 basically says that whatever we characterize today in terms
13 of preferential pathways or percolation or infiltration is
14 sort of meaningless over the next 1,000 years. So, would you
15 care to comment on that?

16 DR. SCANLON: Yeah, vegetation is really important. I
17 mean, studies at Hanford where they had bare lysimeters for
18 several years showed increasing water storage with time and
19 then the lysimeter was vegetated and within three months all
20 that excess water was removed. I mean, it's very important.
21 And, one of the problems that they're facing at Hanford is
22 to try and predict land use over the proposed life of their
23 low-level repository because they think a lot of it may
24 become farm land and crops and stuff like that. But, in
25 Australia, that example where you have 40 fold increase,

1 you're going from eucalyptus vegetation which has roots down
2 to 10 to 20 meters to crops which have very shallow roots.
3 So, there is maybe an extreme case there. You know, I mean,
4 most of the shrub vegetation in the southwest, creosole
5 probably, generally roots in the upper one to two meters.
6 It's a problem. Also, I mean, if you ask performance
7 assessment what is the recharge rate at a site, there is no
8 "the" recharge rate. I mean, it's spatially variable, it's
9 temporally variable, and you need to include the variations
10 in climate like Alan Flint has included in some of his
11 simulations and stuff like that. So, it is complex.

12 DR. PALCIAUSKAS: I just have one more brief question.

13 DR. LANGMUIR: Okay.

14 DR. PALCIAUSKAS: You talked about piston flow and
15 preferential flow and when they occur and so on. I'd like to
16 make one generalization and perhaps you can back me up if you
17 think it's an appropriate observation or not. Even in a very
18 clean sand, displacement experiments have shown that you
19 always bypass a certain amount of water. So, you have piston
20 flow occurring along, let's say, 60% of the pore volume and
21 40% is being bypassed. And, as you go to a more and more
22 heterogeneous systems, you get more and more preferential
23 flow. Can you corroborate that?

24 DR. SCANLON: My feeling is that--I mean, Wierenga's
25 experiment, the Las Cruces trench experiment--and Tom can

1 comment a lot on that, I think--is that there they really saw
2 preferential flow and most of the water--I don't think there
3 was enumerable fracture. I mean, I think all the water that
4 was in the soil was partaking in the flow. Heterogeneity was
5 an issue that came up at Ward Valley. You know, people
6 talked about on the local scale if you go from gravel to
7 clay, but on a larger scale it appeared more uniform. I
8 mean, there was no distinct layering or stuff like that. And
9 so, you know, when you talk about heterogeneity, you have to
10 also talk about the scale that you're talking about. In very
11 dry settings where most of the water is absorbed on the grain
12 surfaces, I don't think heterogeneity has much of an effect,
13 you know. You're talking--

14 DR. PALCIAUSKAS: I guess what I meant was that the
15 heterogeneity is much more important when you increase the
16 flux, because then most of it has to be accommodated by the
17 preferential paths. With a very dry environment, you have
18 basically static, water trapped in a very, very slow matrix.
19 But, as soon as the flux is increased, then, of course,
20 preferential pathways become much more important, maybe even
21 dominant.

22 DR. SCANLON: Right, right. Well, that's because--I
23 mean, most of the preferential flow studies are in the humid
24 northeast. Cornell, I mean, nearly all the studies have been
25 done there. So, yeah, in a higher flux setting, yes, I think

1 you see more preferential flow. But, as far as the
2 southwest, the desert southwest, under natural interfluvial
3 settings, I don't see much evidence for preferential flow.
4 Jon Hendricks did studies in Holland on stable wetting
5 fronts, finger flow, and stuff like that where they had
6 organic topsoils and he moved to New Mexico and he is still
7 trying to find preferential flow. So, yeah, in humid
8 settings, higher fluxes, yes, there is much more preferential
9 flow, but in arid southwest in interfluvial settings where
10 it's really dry, I don't think it's that important.

11 DR. LANGMUIR: Thank you, Bridget.

12 DR. SCANLON: Okay.

13 DR. LANGMUIR: We're scheduled to take a break. Let's
14 do so and return at 2:50.

15 (Whereupon, a brief recess was taken.)

16 DR. LANGMUIR: Shallow infiltration and initiation of
17 fracture flow at Yucca Mountain and the speaker is Alan
18 Flint, U.S. Geological Survey.

19 DR. FLINT: While everybody is getting seated, actually
20 Victor was expecting me to be somewhat entertaining, and so I
21 thought I'd start off with a little story to give you an idea
22 of my philosophy with which I'm currently working. We're in
23 somewhat difficult times, I suppose, in the Yucca Mountain
24 Program and we have to make decisions and push the limits of
25 what we know and what we understand to get some kind of

1 information out. This is a story of something that happened
2 to me several years ago, actually 21 years ago, that helped
3 me to develop my philosophy.

4 I was in Southeast Asia in an air base called
5 Utapao and we were flying missions into Cambodia into the
6 airport in Phnom Penh. It had been surrounded by the Khmer
7 Rouge and one of our planes was in there and they couldn't
8 get one of the engines started. It was a C-130, a four
9 engine turbo prop. They said, well, we can't fly it out;
10 it's not safe. So, they had two engine guys and myself, I
11 worked in instruments. We flew in to this surrounded air
12 base to get this plane out and we got off our plane and asked
13 the pilot what the problem was and he said, well, the engine
14 won't start. We said why don't you just fly it out and he
15 said it's not safe. So, we went over to the engine and got
16 out to start working on it and the Khmer Rouge opened up on
17 us with their 105 Howitzers. As they were walking these
18 shells closer trying to get the range, the pilot came down
19 and yelled let's go, let's go. We said what about the
20 engine? He said three engines is more than enough. So,
21 that's where we are right now. So, we're sort of flying on
22 three engines, I suppose.

23 I'm putting information out and it's the best
24 information we have at the time. I think it has some

1 relevance to what we're talking about. I'm going to talk
2 about shallow infiltration and the initiation of fracture
3 flow. The goal of the infiltration study, our overall
4 objective, is to provide the upper boundary conditions for
5 numerical models that are realistically variable in time and
6 space. As you've heard from the previous speakers, we know
7 that infiltration has a seasonal distribution and we know it
8 has a spatial distribution. I want to talk about those.

9 The methods that we've chosen to meet that goal--
10 these are milestones that we're trying to produce over the
11 next six months to a year--is, one, the development of a map
12 of net infiltration based on 10 years of record. This is a
13 statistical analysis of flux. We also have a numerical model
14 that's based on deterministic and stochastic processes--
15 stochastic like rainfall--that can reproduce that map under
16 current conditions. This is a soil physics approach to
17 solving the problem. And, the third milestone that we're
18 trying to incorporate now is to model past and future climate
19 scenarios that we can change the soil development over time,
20 in particular, change the vegetation. Even if we're looking
21 at 10,000 year scenarios, we have ways we think we can do
22 that. And, changing atmospheric conditions; even things like
23 ozone can change evapotranspiration by the way it affects
24 radiation loads.

25 The objective of this presentation is to present

1 the meteorological conditions that existed during the
2 collection of the infiltration data that I'm going to
3 present. I think it's important to see where we are in that
4 data collection. I'm going to present an overview of the
5 field data that was used to develop our conceptual model, and
6 I'm at the same time going to present our current conceptual
7 model of infiltration. I'm also going to present some of the
8 methods that we've chosen to extrapolate point measurements
9 of infiltration to the new 3-D site scale model.

10 The data set that we're going to be looking at has
11 a large temporal and spatial precipitation data that's
12 available from all over the region and some of our own
13 stations. I'm going to concentrate on the 90 neutron holes
14 that we have, 6 to 67 meters deep, and a lot of information.
15 These are topographically located in ridgetops, sideslopes,
16 terraces, channels. And, we've collected monthly readings at
17 .1 meter increment from three to nine years. We do this
18 monthly and, if we have runoff events, we can do this more
19 frequently. So, this is the data set we're going to cover,
20 and I'll try to go through the three different techniques
21 that I'm going to use to estimate flux. The statistical
22 technique and the soil physics technique, I'll get to those.

23 In terms of where we are in the region for
24 precipitation, this is a map. This comes with a report that
25 is in technical review now. It's going to be turned over to

1 DOE at the end of July. This is an estimate of average
2 annual precipitation. We also have an estimate of flux on an
3 annual basis from this. You can see the Yucca Mountain right
4 in this location, Las Vegas down here. You can see the
5 Spring Mountain's fairly high rainfall rates. In this map
6 alone, we're looking at rain from 40 millimeters to over 400
7 millimeters. So, an order of magnitude difference in
8 precipitation even though it's an arid climate. Things that
9 you can note are the rain shadow effect of the Sierras, very
10 important in looking at climate change. We have elevations
11 up at the north end that are very similar to what we have on
12 this end, only they're lower rainfall rates because they're
13 in the rain shadow. In French's report, he's suggested that
14 this is an excess zone to the right and that seems to be the
15 case that we see here. But, we're looking at about 170
16 millimeters a year average precipitation. Those of you that
17 want to use Ranier Mesa as an analog site for Yucca Mountain,
18 just keep in mind that it's got double the precipitation
19 under the current conditions.

20 On a local scale, we also have to keep in mind that
21 any particular storm has its own spatial variability. This
22 is the storm of March 10 and 11. This is the one that caused
23 all the runoff and Forty Mile Wash swept away some engineer,
24 not a hydrologist I want to point out. And, look at the
25 large distribution here. Again, we have 40 millimeters from

1 one storm upwards of 130 millimeters to the north end of the
2 mountain. So, quite a bit of distribution in rainfall. And,
3 even over the potential repository site, you see a large
4 variation. We have to keep that in mind when we start
5 looking at recharge and infiltration that these events are
6 quite variable.

7 In terms of the long-term record, this is from
8 Station 4JA. This is about five miles east of the mountain
9 itself. This is near the field operations center, the
10 hydrologic research facility, and this is a record from 1958.
11 The kinds of things that you can think about when you see
12 something like this is if we have our tritium peak back in
13 this period of time, how does this system respond when we
14 have these low rainfall rates? But, where does the record in
15 infiltration that I'm going to talk about lie in here? This
16 is average precipitation. This is a five year sliding mean
17 because I'm going to show you five years of neutron hole
18 data, the results, the statistical analysis on five years of
19 data. The key points here are, one, the annual precipitation
20 on a five year sliding mean, the last five years have been
21 the wettest on record. In particular, the winter has been
22 the wettest on record. And, as was pointed out by Bridget,
23 the winter precipitation is very important in terms of
24 recharge.

25 So, what we're seeing today and what you're going

1 to see is the wettest environmental conditions we've seen
2 and, most likely, the highest fluxes we have seen. Keeping
3 in mind again if you're looking at--when we start talking
4 about tritium, chloride-36 movement, we're at depositional
5 periods back in this case where we have fairly low
6 precipitation. That may be important and we may get
7 underestimates of recharge because of this distance of this
8 time series. Also note the trend. So, in another 50 years,
9 we should have maybe 300 millimeters a year if you believe in
10 trends. It's something we can predict and at least try to
11 get at.

12 Okay. Let's talk about the site for a second. It
13 is an arid environment, average of 170 millimeters a year.
14 Volcanic tuffs, welded and nonwelded. Variable thickness of
15 alluvium, again one of the most important things we're going
16 to find. And, that we have faults and fractures under these
17 highly variable surfaces. Those become real important.

18 For those that haven't seen it, this is looking at
19 Yucca Mountain from the southwest. You can see some of the
20 bedding plains, the Tiva Canyon on top, the nonwelded PTn,
21 and I believe the tunnel boring machine has gotten below this
22 zone now and is down in here somewhere on the other side.
23 This is looking just 180 degrees different. You can see some
24 of the washes we're looking at. The footprint of the
25 repository might be somewhere in this general area right in

1 here. So, we're over mostly the ridges and the sideslopes in
2 this case.

3 This is the site scale model that we worked with
4 several years ago when we made our first estimate of a flux
5 map and looking at spatial distribution of flux, the
6 potential repository boundary. What we did is put together
7 all the data we could on matrix properties and neutron log
8 data to come up with a flux of what's flowing through the
9 matrix. That's what this graph was. This was from high-
10 level waste last year. This is only flow through the matrix.
11 You can see the range of fluxes we estimate using an assumed
12 unit gradient, the relative permeability of the rock at its
13 current saturation. With the Paintbrush nonwelded tuffs, up
14 around 13 millimeters a year down to the Tiva Canyon Welded
15 over most of the repository area on the order of .02
16 millimeters a year.

17 The next part of our program has been to
18 incorporate the fractures into this. What role do fractures
19 play and how do we initiate fracture flow? Is that number
20 going to go up? Most likely, yes. An important point was
21 that there were some fairly large fluxes there even in the
22 matrix, much higher and not uniformly distributed, as was
23 said earlier. Things to consider, variable depth of
24 alluvium. The nature of the fractured bedrock; a lot of
25 fractures, a few fractures, are they filled with carbonates?

1 What about the porosity? How does the porosity affect
2 things? Topographic position, radiation load, soil depth,
3 and timing of precipitation?

4 We look at the kinds of locations we have for our
5 boreholes. This is Pagany Wash. This is the north end of
6 the site. We have a series of boreholes in channels, we have
7 them on terraces, we have them on sideslopes and ridgetops;
8 varying thicknesses of soils. To show you an example, here at
9 N7, we have neutron logging going on. You can see that we're
10 moving out of the channel as we go up and down either side.
11 You can see the vegetation. The creosote here has rooting
12 depths on the order of at least five meters and up to 10
13 meters is the estimate from some recent studies.

14 Active channels, this is from that March runoff
15 event. Channel flow in a lot of places. These holes we've
16 logged on a more regular basis, on a daily basis in some
17 cases. It takes a lot of manpower, but we think it's real
18 necessary to capture this kind of information. And, it's
19 something we don't see too much of. You see the foam
20 floating around there. If there's any question about
21 drilling fluids that we used earlier in the program, there is
22 some still remaining on the sideslopes that comes down with
23 the wash.

24 This is a terrace location. Note the rain gauge;
25 on every one of these holes, we have a small rain gauge; over

1 150 of these rain gauges out at the site so we can capture
2 storm information. And, sideslopes moving up the hill, there
3 are some reasons we can't drill on the steeper sideslopes.
4 It's, more or less, a safety issue, but those could be more
5 important. And then, finally, ridgetops.

6 What do we look at when we get our neutron logs and
7 what kind of information can we gain from this? This is an
8 example of what you might expect in a channel without runoff
9 or even in some of the terraces. You can see wetting fronts
10 moving down, more or less, kind of a piston type flow and
11 very little change at depth, although we may have some
12 changes whether it's due to the neutron logs or due to how we
13 do the measurements. In ridgetops or sideslopes, it's real
14 important to point out these big changes with depth that we
15 can see down to 12 or 14 meters. Very shallow soils, less
16 than a meter of soil, and we get these large variations. So,
17 this data then we can put through our statistical analysis to
18 try to get an idea of what's controlling flux and maybe some
19 idea of what the flux actually is out here.

20 We used one technique taking the water content over
21 a year or several years and take the standard deviation.
22 That way, you can put all of this information on one graph.
23 This is the standard deviation. You can see a large
24 variability right above the interface tuff/alluvium and then
25 a smaller variability, but still different from some level

1 where we think that we have either a steady-state condition
2 or, at least in the 10 years of record or five years, not
3 much change. But, we can identify where we may have a depth
4 of a wetting front. We're going to use this information in a
5 correlation matrix that I'll show you later.

6 Okay. If we want to evaluate the potential for
7 fracture flow, two things that we felt we needed to know.
8 One is what are the properties of the filled fractures or the
9 open fractures at that interface. And, number two, what's
10 the water potential at the tuff/alluvium interface? Those
11 seem to be the controlling factors to whether or not we get
12 fracture flow and how it represents itself in our neutron
13 logs. So, I'm going to spend a little bit of time talking
14 about these in a couple of slides later.

15 This is an example of a very interesting borehole,
16 N11. This is up on Mile High Mesa. It's a fairly high
17 rainfall area, considerably higher than over the main
18 repository area. We don't feel we have as many filled
19 fractures here as we do at lower elevations. What we're
20 seeing is not much of a change if you look at the first four
21 meters, but as we go from a welded to a moderately welded--in
22 fact, probably up in here, it becomes more moderately welded
23 where the fractures may tend to terminate at least from field
24 observations and those terminating fractures then have to
25 dump their water into the matrix. There's no other place for

1 them to go. So, you can see this nice increase in water
2 content as it comes across this transitional zone and we see
3 this in several of the boreholes at these high elevations.
4 But, we wouldn't have any evidence of flow through the
5 fractures, yet we see the water ending up at the bottom. So,
6 we know it happened and we know it can happen fairly quickly.

7 In another case at a lower elevation where we know
8 we have lots of carbonates because we drilled the holes and
9 found lots of carbonates in the fractures, although again we
10 see at the near surface not quite as much evidence for a very
11 large area. We see an increase in saturation more uniformly
12 distributed over the site. And, in some cases, we know that
13 this is fracture fill material because the water contents
14 exceeds the porosity of the rock which means there's probably
15 carbonates there. The carbonates increase the porosity and
16 filled with water give us those higher readings. So, these
17 are different kind of evidence where we have shallow soils of
18 pretty good fracture flow.

19 Now, this is the standard deviation of water
20 content at the tuff/alluvium contact in the alluvium. First,
21 there's a depth of alluvium. That's one of the ways we can
22 look at how things change. If nothing is changing based on
23 what we had when we drilled these holes several years ago
24 when it was a much dryer climate, the water potentials were
25 not enough to get fracture flow to occur. Really, it's these

1 short-term events where we increase our water contents for a
2 short period of time, weeks or months, and then reduce back
3 that we can get fracture flow to occur. A couple of runoff
4 events--but I think it's real striking to see that if you
5 have more than about five meters of alluvium, you don't
6 change the water content at the tuff/alluvium interface in at
7 least the last five years. So, this depth of alluvium
8 becomes very important. It's these large changes that allow
9 us to get flow into the fractures, we believe.

10 If we subtract the standard deviation above the
11 interface with that below the interface, that is separate the
12 top meter of rock versus the bottom meter of soil, we see the
13 same kind of trend at about five meters. The changes in
14 water contents, if there are any, are basically the same. We
15 think that there's a good reason to believe there's
16 equilibrium existing between the rock and the soil with the
17 exception of anything above about five meters. So, this soil
18 depth becomes very important in this analysis.

19 Well, here's an example in time series and looking
20 at the same kind of data. Those standard deviations would
21 come by just simply taking the standard deviation of all
22 these points. This is the meter below the alluvium, a meter
23 above the alluvium. As we go through time, at some point we
24 have an increase in water content, but we don't see a change
25 in water content in the rock itself until we cross some

1 critical level and then we see a sharp jump. And, based on
2 the analysis of all the neutron logs, we can make an estimate
3 of this being fracture flow because it's fairly rapid and it
4 exceeds the conductivity of the matrix itself. Well then, we
5 drop back down again. So, the alluvium loses that water and
6 we see a decrease in water content of the tuff until some
7 point where we can cross that line again and this tells us
8 something about what it takes to get fracture flow to occur
9 in this particular site. So, we're going to ask two
10 questions. What's the flux and what's the duration? And,
11 the only other thing we're not going to be able to answer is
12 what's the direction? So, is this drying out because it's
13 moving downward or is it coming back up through
14 evapotranspiration processes? This is an estimate of 18
15 millimeters a year going into the top meter. We have to
16 figure out which way that's going because that's a fairly
17 high flux. But, that's how much water we're moving in this
18 particular system.

19 Well, if we look at the duration that this soil
20 stays wet, we see something about soil depth. From 1990 to
21 1995, how many weeks could we maintain a water potential wet
22 enough to keep fracture flow going? Whether it's a channel,
23 a ridge, a terrace, a sideslope, the real important point
24 here is that these very shallow soils, we can maintain
25 fracture flow water contents for over 60 weeks. Remember

1 now, wettest five years on record, particularly in the
2 wintertime. So, we have a lot of potential for flow in this
3 particular case and these events, all of these in here, are
4 those conditions where you had channel runoff and water
5 getting to the tuff/alluvium interface with deep alluvium,
6 but through channel flow. So, that's very important.

7 This is an estimate of flux now by adding up all
8 the times the water content went up. So, every plus was an
9 added and anything else was just left alone. So, these are
10 the estimates of flux going into the top meter of alluvium.
11 As you would imagine, again anything deeper than five meters,
12 any more than five meters of alluvium, we didn't see a lot of
13 flux at least in the last five years. But, anything
14 shallower than that, we saw quite a bit. Somewhere around 80
15 millimeters a year was our highest. The question is is that
16 water continuing on downward or is it coming back up? There
17 are mechanisms to make it go in either direction and that's
18 something that we have to quantify the direction right now.
19 We're just starting to get some information on that. If we
20 look at this in terms of alluvial thickness, we see another
21 pretty good picture.

22 If you remember from the previous graph, we didn't
23 see any--we couldn't maintain a water potential at the
24 interface for fracture flow to occur. That's because there
25 was no soil there. But, why do we have so much flux? It's

1 because these are exposed bedrock that can take water
2 directly from rainfall and many of these are channels where
3 we have runoff. Where do the channels exist that have no
4 soil and fractures in them? Well, fortunately, they're up in
5 the--right over sort of the repository area and we have easy
6 access to those and can get some pretty good measurements.
7 So, we have quite a bit of flux. Again, you can see upwards
8 of 80 millimeters a year. On average, this might be
9 somewhere around 25 or 30 millimeters a year for the whole
10 area.

11 This is our correlation matrix. This is the
12 statistical analysis now we're trying to do because we have
13 only 90 neutron holes and we have to represent a much larger
14 area. So, we're trying to come up with an estimate of the
15 distribution. You can go through and look at these, but the
16 one that really stands out is if you want to know flux
17 through the top meter, $-.69$ correlation with depth of
18 alluvium. That is, as the alluvium gets thicker, the flux
19 goes down. So, if we just knew depth of alluvium, at least
20 we could make an estimate that would give us an R^2 of about
21 $.5$ or something like that if we knew that. We can also run
22 multiple correlations and try to do a little bit better job,
23 but we need to start looking at this in some detail so we can
24 distribute that data at least in this case statistically.

25 This is our first attempt at a depth to bedrock map

1 and it's not complete. We have more information down below
2 this old 3-D site scale model and this area that we're
3 looking at now and then further down is about the size of the
4 new 3-D site scale model. Zero to 5 meters where we have our
5 highest flux is probably in the top meter of 40 millimeters a
6 year going into that top meter of tuff over this brown area.
7 And then, somewhere around 2 millimeters or less going into
8 the area that's greater than 3 meters. Although I said that
9 5 meters was the real critical depth, 3 meters was a little
10 easier to do and we're still working on this. So, we can use
11 that information then to build a better map of the fracture
12 flow, add that to the matrix flow, and get a better idea of
13 what the distribution of flux is.

14 Okay. Now, we're going to look at another approach
15 for making the calculation of flux and that's using a soil
16 physics approach rather than a statistical approach. This is
17 from heat dissipation probe data to near surface. We put
18 these out in the field during this very, very wet time. So,
19 they all start out at around zero water potential. And, we
20 can see over time the near surface, 7 meters, drying out and
21 picking back up again every time it rains, but a general
22 trend overall to much dryer conditions. The tuff/alluvium
23 interface is at about 74 centimeters and you can see that
24 that stays at about a half a bar. At a half a bar, we can
25 still keep fracture flow going on in some of the filled

1 fractures at any rate. It's this kind of information then,
2 if we knew the fracture properties, that we could calculate a
3 flux into the fractures.

4 These are some of the fractures that we see at
5 Yucca Mountain and the exposures in the Tiva Canyon.
6 Variable soil thickness. From here to here is about 12 feet
7 or so. This is at NRG-5. I think some of you may have been
8 there. These are the fractures that are filled with
9 carbonate materials. We've taken these carbonate materials
10 out and brought them back into the lab to come up with some
11 of the properties. This is a rock sample with carbonated
12 fill. We've cut it into slices so that we can measure water
13 retention using a CX-2 system. We've also taken larger
14 pieces and cored them and gotten saturated conductivities.
15 So, we can get some important soil physical properties to
16 make the calculations of flux. Generally, a water retention
17 curve would look similar--or this is the one that we got from
18 those particular samples for the rock and for the carbonates.
19 And, the carbonates are distinctly different from the rock,
20 but you can see we get some pretty high porosity rock out of
21 that. We're doing more of this now. We have quite a few
22 more samples that we're processing. But, now, we have a
23 water retention curve, we have a conductivity, we assume a
24 Van Genuchten function which is something that really needs
25 to be tested for these particular soils and rocks.

1 We can also take some estimates of unfilled
2 fractures. These are just certain techniques that were used
3 to develop water retention curves for certain assumed mean
4 aperture and a distribution of apertures within a particular
5 fracture. And, we can put all this together and make some
6 calculations of flux using a Darcy's law type calculation.
7 And, that's what this is.

8 Volumetric water content, that's the red, over five
9 years of record using a water retention curve for the soils,
10 we have estimated the water potential at about 10 bars at
11 that bedrock interface. We have some psychrometers downhole
12 that we're trying to get working now to get some support for
13 this. Just to give you an idea of what's happening, this is
14 the air entry value of the filled fracture and this is an air
15 entry value of a 2.5 micron fracture and you can see that the
16 water potential stays much dryer and that we have very little
17 flow into these fractures. In this particular hole, 8.3
18 meters deep, as you would expect, that's not going to have a
19 lot of things happening.

20 If we look at a different system--this is .8 meters
21 of soil thickness--and you can see when our water content
22 jumps way up from a winter event, the water potential jumps
23 down, and we actually cross over this air entry value, we can
24 calculate some flux at that particular point. How long does
25 it stay at this particular point? Well, these are monthly

1 readings. So, it could have been that day, it could have
2 been a week, it could have been two weeks, no more than four
3 weeks certainly. But then, for the rest of the time, we
4 don't see much change. So, here we had a flow event into the
5 fracture.

6 If we look at another borehole, we see these--this
7 is 2.1 meters in a channel--we see high increase in water
8 content, but the water potential didn't reach the air entry
9 value for those and I'm just using air entry as sort of a
10 descriptive line on the graph. We can make the calculations
11 to get the actual fluxes and I'll do that in a second. But,
12 two other important periods where we got pretty good flow in
13 fairly wet conditions.

14 Now, this is an example of a calculation then using
15 that information for an assumed fracture. We have a fracture
16 density of 10 per square meter, a 2.5 micron fracture or a
17 2500 micron carbonated filled fracture--that basically would
18 be a one inch fracture every meter which you saw from that
19 picture may be a little bit more than we would expect, but
20 still not unreasonable--and 2.5 micron fractures per meter
21 may be not unreasonable, but at least for illustration it's
22 kind of useful. So, early-on, this is going from 1985 now.
23 We start off at a pretty good flux, maybe a millimeter a year
24 going through the carbonate. The soils stay wet enough for a
25 period of time. This is coming off that '84-85 big rain

1 events that we had in southern Nevada. But, the fluxes drop
2 pretty quickly, a few peaks. But, the open fractures, we
3 don't see any flow. And then, those two times we see pretty
4 good flow, but because of the high conductivity of an
5 unfilled fracture when it does flow, a lot more water flows
6 through it versus the filled fractures. The filled fractures
7 can have some small amount of flow for a long period of time
8 under dry conditions. So, you have two systems both
9 contributing to fracture flow. Average those out, the
10 unfilled fracture might be giving somewhere around 30
11 millimeters a year over this period of time because we're
12 flowing at 100 millimeters a year for 15 days or longer than
13 that versus the filled fracture may be on the order of 15
14 millimeters a year under this example, these assumed fracture
15 properties.

16 Okay. We can now take one other approach. That's
17 the soil physics approach with the data that we have. One
18 other approach is, more or less, a modeling approach that
19 we're going to use with real conditions and stochastic
20 conditions. So, this is a soils map. The rest of it is
21 pretty much complete now. This was done by Scott Lundstrom.
22 And, we're applying all the properties we can to the soil;
23 relative permeability, saturated permeabilities, textures,
24 all of that information. Overlying this is a vegetation map.
25 So, we tried to put all this information together about the

1 properties of the soil. This is what's going to feed into
2 our Richards' equation based model.

3 For this area, we also have a solar radiation
4 model. That's the basis for our ET modeling; solar
5 radiation, net radiation, soil heat flux. This is a
6 radiation model for the--this is, more or less, the 3-D site
7 scale model, the new one. The potential repository is right
8 in about this area. What you're looking at is zones of low
9 radiation. This is December 21. So, all the blue areas are
10 zones that if we had a rainstorm would be prone to staying
11 wet for a longer period of time. Oddly enough, one of the
12 most important wet zones up in here is sitting right over the
13 top of the intersection of the Ghost Dance Fault and the
14 presumed Sundance Fault. So, that may be a very important
15 pathway. At any rate, we're using this information, all this
16 information to try to model what we saw in the neutron logs.

17 That's what this is, an example of the one
18 calculation. This is volumetric water content in the top
19 meter. The red squares are neutron logs, the blue is the
20 rainfall. There are two functions here. There is a
21 continuum function for a Priestley-Taylor model which was
22 developed in humid lands up in Oregon and it was simply
23 applied just from information out of literature. There's a
24 lot of stuff in the literature that's really pretty nice that
25 you can use to make some first approximations. We developed

1 a step function, Hevesi did and Lorri and I, that does a much
2 better job. The step function has to account for the
3 vegetation changes. It's real important that you know how
4 your vegetation is responding in the winter versus the summer
5 and that's what made all the difference in this particular
6 model. So, what we were able to do is model the top meter.
7 Now, with that top meter modeled in this particular borehole,
8 then we went on to do the rest of the modeling using a
9 Richards' equation approximation and using soil properties
10 from Beatty because that's the only place we had soil
11 properties from, but we figured that was okay for a while;
12 similar textures. We do a fairly good job. In this case, we
13 get to the tuff/alluvium interface at about 10 meters. We
14 can see what we're doing as we're drying out from a part
15 runoff event that occurred in 1984.

16 With this approach, though, then we can model in
17 time the water potential at a specific location applying the
18 Priestley-Taylor function, the radiation model, the soil
19 properties. We're now modeling--although I don't have time
20 to talk about it today--we're now modeling on a 30 meter grid
21 size that holds--the site that I showed from the previous
22 graph--and going back to 1987 to the current time, we have
23 reproduced the runoff events or at least the occurrence of
24 the runoff events that we've seen since then. So, we're
25 pretty encouraged by the results of the model. We're able to

1 get at water potentials at the tuff/alluvium interface using
2 this technique. And, if we get the properties right, we may
3 be able to make some pretty good estimates of flux.

4 This is where we are now. This is the 3-D site
5 scale model. This is where we're working and this is what
6 we're trying to get running over the next couple of months,
7 and this is one of the major milestones we have is to produce
8 this infiltration in space and time for this scale which
9 we're pretty encouraged about being able to do.

10 So, the summary which I think these guys already
11 said it--I think they saw my slide and knew what to say.
12 First of all, the most recent years were the wettest. Near-
13 surface fracture flow readily occurs when you have fairly wet
14 conditions. The depth of alluvium may be one of the most
15 important factors controlling the temporal and spatial
16 distribution of fracture flow because the depth of alluvium
17 is so variable over the site. The deterministic and
18 stochastic models may be a viable way to investigate the
19 influence of future climate change.

20 That's it.

21 DR. LANGMUIR: Thank you, Alan.

22 Questions from the Board?

23 (No response.)

24 DR. LANGMUIR: Let me ask you one, Alan. You didn't
25 speak about it, at all, but obviously looking at the deeper

1 flow in the system and the mountain, we have to get at the
2 amounts of water that might be coming from some place like
3 the Solitario Canyon Fault laterally into the system. So
4 that all the water you're looking at is one input perhaps.
5 You have historic inputs that maybe preceded anything you
6 looked at, too, which the age dating stuff will come up with.
7 But, you've also got lateral flow. How is it all being put
8 together?

9 DR. FLINT: Well, what we're doing is putting together
10 our best guess of what's happening at the near-surface.
11 We're working, of course, very closely with LBL, Bo
12 Bodvarsson, and his 3-D site scale model and taking our
13 information and applying it to his model. Then, he looks at
14 his model results and tells us where we might have to do some
15 more work. And, putting it together by taking this--I think,
16 a fairly well-distributed infiltration map in, more or less,
17 one dimension. That's what goes into the surface. And then,
18 using the 3-D site scale model to look at the potential
19 because the Solitario Canyon is important unless you go--by
20 the time you get down to the fault, there's so much alluvium
21 over that that we don't think there's a lot of water moving
22 in at that location. Where it would most likely be moving in
23 is in the Topopah just below the PTn where the soils are
24 fairly thin. Our data suggests that. So, by putting that
25 into the 3-D site scale model, I think we can answer a lot of

1 those questions, but we have to resolve the difference in
2 scale between what we're doing on a very detailed surface map
3 versus the scale that we can deal with on a large three-
4 dimensional model.

5 DR. DOMENICO: Alan, part of the objective, of course,
6 of your work is the upper boundary condition for the 3-D
7 model and you're having some success with that. The thing
8 that bothers me, how can the 3-D model be incorporated in the
9 system performance to develop a realistic spatially and
10 temporally varying flux through a repository? There has to
11 be a big connection between what you and Bo are doing and
12 what the people in system performance are doing as getting
13 some sort of idea on the variability of flux through a
14 repository under a variety of climate, vegetation, and soil
15 conditions. That's a big key to me.

16 DR. FLINT: My group is working fairly closely with the
17 people that are doing performance assessment, but there are--
18 and, I'll maybe let some of them talk if I don't answer it
19 correctly. But, there are two different groups in
20 performance assessment. One group is very happy to take the
21 surface flux that we've produced--and, again, this surface
22 flux that I showed isn't the final answer yet because we
23 don't know whether that water goes down or back up again.
24 When we get the water that goes back down which we hope to
25 have in the next six months, one performance assessment group

1 can take that directly and they run that through their model
2 and that's the group that's trying to look at groundwater
3 travel time. There's another performance assessment group
4 that's really starting at the repository level and moving
5 down.

6 So, I'm up here at the surface and I'm making
7 myself the tie between past and future climate and trying to
8 say, well, I can turn your climate numbers or rainfall
9 numbers into real fluxes, but I'm stopped at the surface
10 because that's where I'm working and that's where I have my
11 information. And then, this other group is down here. The
12 only connection there may be between the 3-D site scale
13 model--and I guess I agree with you. I think we have a
14 problem right there in trying to take this very detailed
15 information and get to the repository scale because the 3-D
16 site scale model is a large scale model to look at the large
17 system. Its purpose was not just to give a flux right at the
18 repository because there are things that may be as important
19 to the north where we have large fluxes that roll over
20 faults, how we get infiltration to the saturated zone, the
21 influence of the unsaturated flux into the saturated zone.
22 So, all those things are real important. But, I agree. I
23 think that's something that we really have to work on.

24 DR. DOMENICO: Is Bo's stuff sort of a connection
25 between what's going on here and what might be coming through

1 the repository?

2 DR. FLINT: I think Bo's stuff is the only connection we
3 have right now. Is Bo still here? Bo, do you want to--if he
4 can answer, Bo is right there. Yeah, Bo knows.

5 DR. BODVARSSON: This question you have, Pat, is a very
6 good question. It's something that we have been struggling
7 with quite a while because, like Alan said, the 3-D model as
8 it is now is fairly coarse and there is a lot of issues we
9 have been struggling with. They include, for example, the
10 effects of the faults. That was questioned just a while ago,
11 the Solitario Canyon Fault and the Bow Ridge Fault. The
12 effect of going from the surface through repository region
13 and the fact that maybe there's a fracture flow. All of
14 these, we have been thinking about with Alan and some other
15 people in the project. What we are doing now is this. He
16 talked about extending the model in all directions and that's
17 the step we are taking to address the Solitario Canyon Fault
18 and the Bow Ridge Faults because that would allow us not only
19 to prescribe a fixed boundary conditions, but also let the
20 flux go through those faults. So, you can investigate the
21 effect of direct infiltration at those locations.

22 With respect to the repository horizons and how we
23 go from the surface to the repository horizons, we are now
24 refining the grid tremendously in the repository block. We
25 have taken the latest design data from the design people to

1 try to break up the repository block to allow us much more
2 detailed representation of heterogeneities and fracture flow
3 in the repository region. So, instead of the global approach
4 that we started with with Alan and the GS to start with to
5 get the feeling for the three-dimensional flux, we are now
6 looking at much more refined areas where we know it's much
7 more important to refine those areas. That's certainly from
8 the surface to the repository region.

9 So, those are the steps we are taking now and we
10 hope this grid will be completed fairly soon so that we can
11 look at these results and then give some of these models to
12 the Sandia people that are doing the detailed groundwater
13 travel time calculations. I hope that answers some of your
14 questions.

15 DR. LANGMUIR: Thank you, Bo.

16 I think we need to go on. We'll certainly have a
17 chance to revisit these questions. We're over time right
18 now. Ed, a short question?

19 DR. CORDING: My one question is in looking at all this,
20 what average or ranges--what do you see as where the ranges
21 of average flux from the surface into the rock beneath? What
22 do you see as an average flux for the mountain or some range
23 where--where are you now in terms of what you think is an
24 average overall area flux?

25 DR. FLINT: You mean, in terms of the numbers?

1 DR. CORDING: The number?

2 DR. FLINT: In terms of the number over the 3-D site
3 scale model, I'm on two engines now, okay? The matrix flux,
4 our best estimate was 1.4 millimeters a year. That was an
5 area average, but I think it's real important that there are
6 higher numbers by an order of magnitude in some parts of the
7 mountain which contribute to probably the perched water
8 bodies and things. In terms of the fracture flow, that's a
9 hard one. It's probably another couple of millimeters a year
10 that we think may get through the near-surface. The highest
11 fracture flow we'll probably see right over the top of the
12 repository and to the north. So, the biggest numbers are
13 going to be over the repository; the lowest numbers are going
14 to be everywhere else.

15 DR. CORDING: But, your numbers right now is an
16 additional increment. It's not an order of magnitude more
17 than the matrix flow. Is that what you're saying?

18 DR. FLINT: No, it's--

19 DR. CORDING: For the fracture on the average--

20 DR. FLINT: Well, it's three orders of magnitude more
21 than the matrix flow in the welded units. The welded units
22 are on the order of .02 millimeters a year. The fracture
23 flows in the order of 2 millimeters a year, that's a couple
24 orders of magnitude more flow, but it's at the same order of
25 magnitude as the highest matrix flow. Because of the high

1 permeability of the matrix, it may be--for instance, the
2 Paintbrush nonwelded tuffs in Drill Hole Wash may be the
3 fastest flow areas we have in the near-surface because you
4 don't have to go through the Tiva. You go right into them
5 and then into the Topopah. But, yeah, we're looking maybe on
6 that--no more than that, certainly.

7 DR. CORDING: So, instead of 2 millimeters per year, it
8 could be from the surface 4 millimeters per year?

9 DR. FLINT: Instead of .02 millimeters, it could be 2
10 millimeters a year or 4 millimeters a year, right. The flux
11 map that we put out last year on high-level waste suggested
12 over the repository itself, the flux was on the order of
13 about .02 millimeters a year. The new data that we're
14 getting from the fracture contribution says the flux may be
15 on the order of 2 to 20 millimeters a year. So, that's quite
16 a difference over the repository itself. I mean, that's a
17 lot of water. It exceeds the capacity of the underlying
18 units to carry that without fracture flow going on. But,
19 because we don't see perched water existing on top of the
20 vitrophere underneath areas like UZ-16, that's an indication
21 that those fluxes are probably diverted laterally. My guess
22 is that a tremendous amount of flux is diverted laterally by
23 the PTn itself. So, that's why 3-D modeling is so important
24 because you can't take that vertical flux and stop without
25 having a way to get it to go sideways. And, I think that's

1 probably what happens a lot from this water that we're
2 seeing.

3 DR. LANGMUIR: Thank you, Alan.

4 Let's go on. Our next speaker will be introduced
5 by Dr. Tom Nicholson. He will be Gregg Anderson (sic). His
6 topic will be geochemical evidence of fracture flow in
7 unsaturated tuff, Apache Leap, Arizona. Tom Nicholson, by
8 the way, heads the research group on fracture flow and
9 transport at the Apache Leap site for the Nuclear Regulatory
10 Commission.

11 Tom?

12 DR. NICHOLSON: Thank you very much, Dr. Langmuir.

13 I want to thank the Board for inviting us to share
14 some information we've learned at the Apache Leap tuff site.
15 The purpose of our talk today is just to give you some
16 insights and some information that might be of value to you
17 people.

18 This work, as Dr. Langmuir said, is sponsored by
19 the U.S. Nuclear Regulatory Commission. The principal
20 investigators are Dr. Randy Bassett, Pete Wierenga, and S.
21 Neuman. The work that will be reported on is confirmatory
22 research studies that have the objective to independently
23 develop datasets for the evaluation of conceptual models and
24 strategies for understanding groundwater flow and transport
25 through fractured rock. The studies specifically focused on

1 technical uncertainties developed by the licensing staff.

2 The conduct of experiments is to develop
3 independent datasets which will be specifically tailored
4 towards looking at a variety of strategies being looked at by
5 both the NRC, DOE, and other interested parties. The
6 strategies will cover the range from equivalent porous media
7 to a dual porosity/dual permeability and will be done in
8 coordination with the Center for Nuclear Waste Regulatory
9 Analyses.

10 The technical issues developed by the licensing
11 staff based upon their evaluation of DOE reports, site
12 characterization, and other special study plans are those
13 listed above. I won't go through them in detail except to
14 say that it covers a range of processes and model
15 confirmation to understand where are the technical issues,
16 such as preferential flow, scaling from various size
17 experiments to large experiments, and handle multi-phase flow
18 and transport.

19 There's a series of field experiments that are
20 actively being planned right now. They cover a whole range.
21 I won't go into those in detail, but we're looking at both
22 crosshole pneumatic and gaseous tracer experiments, large
23 scale three-dimensional hydrolic and tracer experiments, and
24 a variety of experiments on scales ranging from one meter to
25 over 100 meters. We're lucky at the Apache Leap tuff site to

1 have an underlying haulage tunnel in which we can look at
2 focused recharge through certain preferential fractures that
3 we think exist.

4 With that background, I'd like to now introduce
5 Gregg Davidson from the University of Arizona, Department of
6 Hydrology & Water Resources, who will provide you with some
7 information on geochemical evidence of fracture flow that has
8 been developed at the Apache Leap tuff site. Gregg?

9 DR. DAVIDSON: Thanks, Tom.

10 Just tell me I'm not supposed to quit at 4:00
11 o'clock.

12 DR. LANGMUIR: You've got more time than that.

13 DR. DAVIDSON: Okay. One of the questions that Dr.
14 Langmuir put up at the beginning of introducing this meeting
15 was the third question, what measurement technique can be
16 used to characterize or quantify flow and transport in these
17 environments, being air environments. In other words, can
18 the fast pathways be detected, predicted, and quantified as
19 to their significance and what are the limitations of these
20 techniques?

21 In terms of this can fast pathways be detected,
22 predicted and quantified, the reason that that question is
23 being asked today is because there's very little information
24 available concerning that question. One of the reasons has
25 to do with the nature of fracture flow itself. Fracture flow

1 by definition is somewhat of an anomaly. In other words,
2 what I mean by that is you can't talk about fracture flow
3 accurately in terms of being a uniform behavior across the
4 formation. Where fracture occurs, it occurs in discrete
5 locations. If I just walk out arbitrarily into a study area
6 and sink a borehole in the ground, I've got a very good
7 chance of missing that phenomenon.

8 I've got a schematic that I put together here just
9 to highlight this point. If I have just in this hypothetical
10 situation a fracture zone that for whatever reason is--
11 perhaps there's ponded water in a low spot and it's
12 generating fracture flow through this area and it's occurring
13 in a very localized region for whatever reason--I mean, if I
14 go out into the field site, it's not just a matter of finding
15 a fracture, it's finding fractures that are conduits for
16 water if that's really, in fact, what's happening. So, if I
17 go out unaware of this particular situation, I choose my
18 study area, I fill it with boreholes, I spend a lot of time
19 mining the recourses, and I come out of my study and I
20 conclude, well, fracture flow is not a very significant
21 event. Well, when, in fact, what I may have done is I simply
22 didn't intersect that phenomenon with my borehole. Now, if
23 that doesn't make it difficult enough to try to--you need to
24 intersect these things in order to find them, in order to be
25 able to tell that they're actually occurring if they are. I

1 can put a borehole through this phenomenon and I still may
2 not see it because in a fracture plane, we often think of the
3 preferential flow as being through the fracture plane, but
4 even within that plane typically we have preferential flow.
5 You have fingering, you have water that's traveling during--
6 that's picking its own pathway down through a fracture and
7 just because I intersect it with a borehole doesn't mean that
8 water is actually going to enter that borehole.

9 So, in the case where maybe the water does enter
10 the borehole, well, then I've got a new--it will give me
11 information if I find it, but for one thing, I have to be
12 there. When we're talking about arid environments, we're
13 talking about typically episodic events. So, if there's
14 going to be flow into that fracture, I have to be there or I
15 have to have monitoring equipment in that hole to catch it.
16 If I'm fortunate enough that I do see it, that's going to
17 tell me some information. But, if I want additional
18 information about the geochemistry or whatever, then I have
19 to somehow sample that. I have to get a sampling container
20 down into that hole. I have to be able to get the water and
21 isolate it from the atmosphere or isolate it from drilling
22 materials that are on the sides of the borehole. It's a very
23 difficult process. So, as a result, that's largely
24 responsible for why we have so little data about fracture
25 flow.

1 So, at the Apache Leap, we initiated this
2 investigation of fracture flow in an effort to see if we
3 could answer some of these questions about how can we detect
4 it and can we quantify it? So, what we did at Apache Leap we
5 tried to first ask the question if we were going to see
6 fracture flow, where is the most likely place to find it?
7 Well, the most likely place is going to be beneath areas
8 where water is for whatever reason concentrated and that we
9 have the fractures exposed to a positive head that would
10 initiate flow through those fractures.

11 This is a photograph from one of the mountain tops
12 looking down to the south of the Apache Leap. The edge
13 escarpment is over here through this ridge and you'll see a
14 series of parallel valleys running towards the west. And,
15 during rainfall events, we get runoff and a few days out of
16 the year, we get water flowing down through the bottoms of
17 these small valleys as ephemeral streams and the fractures
18 are exposed to water. So, what we decided to do was to put a
19 borehole in the base of one of these little valleys. You can
20 actually see this was--during the drilling was one of the few
21 days of the year where we do actually have water running down
22 through there.

23 Now, we also determined what one of the predominant
24 fracture patterns was. We found that they were cutting
25 roughly perpendicular to some of these valleys and sloping at

1 about a five degree dip. So, we drove the borehole at about
2 a 40 degree angle to try to intersect as many of these
3 fractures as possible and went on into a perched aquifer
4 that's down here about 144 meters. Now, the idea was that we
5 would then run a video log and we'd run geophysical logs down
6 and see if we couldn't identify potential water-bearing
7 fractures. And, to try to get around this problem of trying
8 to be there when a flow event occurs, to try to get around
9 the problem of flow possibly not even entering the borehole
10 even though you're penetrating a water-bearing fracture, by
11 taking--as I said, trying to identify potential water-bearing
12 fractures and taking core from adjacent to those fractures,
13 getting pore water out of those, and then comparing that pore
14 water with pore water taken from intermediate zones that
15 were moved, isolated from those fractures, and see if maybe
16 we had higher levels of carbon-14, higher levels of tritium
17 in those pore waters.

18 So, that's what we did and these are geophysical
19 logs. We have neutron data, density data, and resistivity
20 data. Now, the missing data up at the top is because casing
21 remained in place up near the top of the hole during this
22 time. It also explains the shift in the density data. But,
23 the most important thing I want to point out is right here at
24 about 73 meters the video logs showed water actually--we were
25 fortunate enough to actually see water entering the hole at

1 that point. Some of the things you'll see is a spike of
2 lower density which is typical of a discrete fracture which
3 we also observed in the video logs, we have a small increase
4 in the neutron response, and a decrease in resistivity which
5 can also be indicators of increased water content.

6 So, what we did then was to look for other regions
7 that had similar patterns and to target them for taking core
8 adjacent to those intervals and comparing the results of the
9 pore water with samples taken from intermediate zones. The
10 dotted lines here were not specifically targeted, but you'll
11 see in some of the later slides some of the influence of some
12 of the features that are showing up in this region, as well.

13 This was a water content slide. We took some of
14 the core and determined what the water content was
15 gravimetric analysis and by a distillation technique where we
16 measured the water that came out from a given mass of rock.
17 You'll notice that we have anomalously high water contents at
18 each of those fracture locations which supported the
19 conclusion that what we were seeing in the geophysical logs
20 was indeed higher water content. Up at the very top where
21 you see the very high water content is largely due to high
22 porosity. The upper 20 to 30 meters of a formation has a
23 much higher porosity, not necessarily higher saturation.

24 This is a slide of the radiocarbon data. What
25 you're looking at--up at the very top, you'll see surface

1 runoff. At the bottom, these are perched aquifer samples.
2 You have some formation air samples which I'm not really
3 going to talk about very much today. The red circles up near
4 the top are water that we took Al Yang's squeezing cell and
5 we put our core in it and squeezed it and got water out and
6 measured the radiocarbon content of that. The greenish-blue
7 or the green is distilled samples. And, what happened was
8 most of the core, we could not get water out by squeezing.
9 So, we had to develop a new method for getting at the carbon
10 that was in that pore water. We developed a distillation
11 technique. I don't have time to talk about that technique
12 itself today, but for the moment you can compare and see the
13 results of squeezing the water up where we were able to take
14 core from the same intervals, squeeze it, distill it, and you
15 can see we have very close agreement. So, it seems to be an
16 effective method. So, we have the most complete record of
17 the borehole with this distilled data. So, this is pore
18 water data, the carbon-14 that's in the pore water.

19 The most important thing is what we're seeing is
20 not a monotonically decreasing C-14 activity profile with
21 depth. What we're seeing is in association with many of
22 these fracture zones, we're seeing elevated C-14. We're
23 seeing elevated below this zone, we're seeing it elevated in
24 association here, we're seeing it elevated up in here, and
25 again up there.

1 Now, the very top one, perhaps there may be a
2 fracture zone that we didn't identify, but then each of the
3 following ones are associated with some of these fracture
4 events. Now, this point down here, mining activity has been
5 close by. They have been pumping water from their mine for
6 years. We suspected all along that they probably dropped the
7 level of the perched aquifer and this seems to indicate that
8 that's true. We suspect that the perched aquifer was
9 possibly up in this region before and what we're seeing here
10 is simply another value from the saturated zone or what was
11 previously with the saturated zone.

12 Now, one thing to notice is that in this region
13 which was the only region where water was observed entering
14 the borehole, it's associated with the smallest increase in
15 C-14 activity. I think that the explanation has something to
16 do with the phenomena that actually controls fracture flow.
17 In this interval, it's a relatively unfractured section with
18 a discrete fracture that water is entering from. Now, when
19 water is initially coming in to a fracture, some of that is
20 going to imbibe into the matrix and, as the matrix near that
21 fracture becomes saturated, then further imbibition is going
22 to be restricted encouraging water to continue farther down
23 the fracture. Now, in this area where we've got a discrete
24 fracture with water coming down it, perhaps subsequent or
25 successive flow events are forced to take a similar route

1 each time. So, as water is moving down through this
2 fracture, it's encountering matrix that's already fairly
3 saturated and not much imbibition takes place. Whereas down
4 in this region, this is a very, very fractured region and
5 successive flows may be able to take many, many different
6 routes and there may be more time for the matrix to drain.
7 So that the next time flow encounters that matrix, you have
8 greater imbibition and we see the results of it with a
9 greater increase in C-14 activity.

10 The tritium data seems to support this idea.
11 Unfortunately, we don't have tritium for these two water
12 samples. The samples were lost. But, for most of the other
13 samples, we have tritium data and in every case the tritium
14 is near or below the detection limit of .1 tritium units. We
15 have very good detection limits. And, what that seems to be
16 saying is that with each flow that's coming down--that we're
17 getting some imbibition into the matrix, it has to be a
18 fairly small imbibition because if there was more, we'd see a
19 larger tritium value. The fact that it's less than .3 TU in
20 almost all--well, in every case, it's less than .3 TU--
21 suggests that we don't have very much moving in and yet over
22 time--that's per flow. But, over time, over years and
23 successive flows, the total amount of water going in is a
24 substantial contribution to the unsaturated zone based on
25 these C-14 numbers.

1 Now, there's a couple of questions that could be
2 asked from this. One is it's been asked if perhaps you could
3 have gaseous diffusion down drive fractures that would give
4 you a similar look. Well, it's possible that you could get--
5 you would get more rapid diffusion down an open dry fracture,
6 but that's not what this is for three reasons. First, we see
7 water or we observed the water entering the borehole at this
8 step. Second, the geophysical logs and the gravimetric
9 analyses indicate that we have higher water contents
10 associated with these fractures. So, they're not dry
11 fractures. And, third, we've got post bomb carbon at 133
12 meters. According to my calculations, the diffusion rate of
13 C-14s and CO₂ is not sufficient to get post bomb carbon down
14 to this step. So, we're looking at water coming down through
15 these fractures.

16 The second question is are we looking perhaps at an
17 artifact of a wetter climate? And, again, the answer is no
18 for virtually the same reasons. We actually observed water
19 entering at 72 meters and we're looking at post bomb carbon
20 here. So, this is a current phenomena that we're dealing
21 with.

22 So, the next question is, well, that's the
23 unsaturated zone. How much of this fracture flow is actually
24 making it down to the aquifer? Now, if you notice here,
25 there's a large discrepancy between the pore water taken from

1 core from the saturated zone and samples taken from the
2 aquifer by pumping. To address this discrepancy, you have to
3 consider the sampling method. When we pump water from the
4 aquifer, we put a pump down in the borehole and we're pumping
5 out a large volume of water to take care of atmospheric
6 effects, to take care of drilling effects, and what we end up
7 doing is drawing water from some distance away. Now, keep in
8 mind, we're beneath an ephemeral stream here. So, if
9 fracture recharge is occurring, it's likely to be enhanced
10 beneath that zone; whereas, as we move away from that zone,
11 it's perhaps not occurring as much. So, what we end up
12 having is a mixing zone beneath these ephemeral streams where
13 we have aquifer water moving into this mixing zone and mixing
14 with water that's traveling down through fractures. I
15 believe that's what we're seeing right here is that this core
16 has come from that mixing zone; whereas, these represent
17 samples that were drawn from outside of that mixing zone.

18 Now, what's interesting in both cases, the tritium
19 is below detection. But, we can use the C-14 and the tritium
20 data together to try to calculate the amount of water in that
21 mixing zone that came from fracture flow. We can do that by
22 thinking of this mixing zone as a box where we have fracture
23 flow contributing some, we have the aquifer contributing
24 part, and then we have discharge at steady state, and there's
25 a certain residence time that's dependent on the flows in and

1 out. The residence time is going to be part of the equation
2 in determining how much fracture water we can input into that
3 box and maintain this measured value of C-14 and keep tritium
4 values below detection.

5 What this figure is is residence time of water in
6 that mixing zone versus fractional contribution from fracture
7 flow. What the vertical axis means is essentially what
8 percentage of the water in that mixing zone was derived from
9 fracture flow. Now, that's very different than is it recent
10 water? Don't confuse recent water with fracture flow because
11 some of this water may have been recharged through a fracture
12 1,000 years ago. So, it's sitting in the aquifer and it
13 doesn't look young because it's not young. But, yet, it was
14 recharged rapidly 1,000 years ago.

15 So, what this is is saying, all right, if I assume,
16 say, for this line that my mix zone can't be more than .3 TU
17 when I'm done, how much fracture water can I add to it, how
18 much matrix water can I add to it for a given residence time?
19 At the far end, if the residence time is 300 years, then
20 every year that's saying that the entire aquifer is from
21 fracture recharge and basically what I'm doing is every year
22 I'm adding 1/300th of the volume of the aquifer to the mix
23 zone through fracture flow versus, on this end, this is
24 saying a recharge of one year and I can only mix about 6%
25 fracture flow and the rest has to come from the aquifer and

1 it's being replaced every year.

2 Now, we're doing the same thing for C-14 here
3 maintaining the measured activity at .82. Now, where these
4 lines cross is theoretically the solution for how much of
5 that aquifer came from fracture flow. And, that's sitting at
6 about 47%. Now, if the actual tritium is below detection,
7 say below .1, or we're not sure what it is, then rather than
8 lying along this line someplace, it's going to be anywhere in
9 this area which would be along this line anywhere to the
10 right of the tritium line. Now, the contribution from recent
11 bomb carbon and bomb tritium is going to serve to lower both
12 of these lines by a small amount and that's impossible to
13 quantify because we really don't know what the actual values
14 of C-14 and tritium were on a yearly basis for this site nor
15 do we know what kind of variability there was in
16 precipitation. But, keep in mind that the longer the
17 residence time, the less impact that's going to have on--the
18 less impact there's going to be on contributions in the last
19 50 years because those contributions are fairly small. But,
20 over the long-term, what we're looking at is on the order of
21 half of the aquifer in the mixing zone derived from fracture
22 flow.

23 Now, that's in the mixing zone. What about the
24 aquifer outside of the mixing zone that's contributing?
25 Where did that water come from? Well, to consider that

1 issue, I want to switch gears from the radioisotope data and
2 look at geochemistry. What I have here is just some average
3 compositions of surface runoff, pore water, and aquifer
4 water. This is aquifer from outside of the mixing zone.
5 Now, just looking at the total dissolved solid numbers, it
6 should be apparent that that aquifer water is not simply pore
7 water that's reached that depth. There's some dilution of
8 pore water that's required in order to get this. Now, if we
9 spent some time to go through many of the individual ions,
10 what we would discover is that it's also not simple dilution
11 of pore water. It's not simple mixing between surface runoff
12 delivered through fractures and pore water. What we have to
13 do is we have to consider possible mixtures of pore water,
14 surface runoff, and then reactions with the minerals in the
15 aquifer.

16 Some of the common minerals that are in the aquifer
17 that we considered are in the formation; plagioclase, botite,
18 hornblende, CO₂ gas. These could all be dissolving and with
19 these minerals we have incongruent dissolution which means we
20 have simultaneous precipitation of clays which could be any
21 of these. Now, what we did then was to take a computer code
22 called NETPATH and what NETPATH does is it's a computer code
23 that simply allows you to take, say, two waters with a known
24 composition, allows them to be mixed in variable proportions,
25 possible evaporation if necessary, and then it will dissolve

1 minerals that you input, precipitate out minerals that you
2 input, and see if it can come up with solutions that will
3 give you the composition of the final water which in this
4 case is the aquifer water.

5 Now, NETPATH solutions are not unique. It can come
6 up with a variety of possible solutions that you then have to
7 look at and determine if they're realistic. Now, for the
8 particular minerals that I used, I think in that run I got
9 about 12 different possible solutions. I put three example
10 solutions up that pretty much represent all of the others.
11 What we see here is the positive numbers represent minimal
12 per liter of minerals dissolved. The negative numbers are
13 minimal per liter of minerals precipitated. You'll notice
14 that not all of them--the program is not forced to use all of
15 these minerals. It can pick and choose which ones to see
16 what kind of result you get. But, this is less important for
17 the sake of this meeting than the top two rows are. The top
18 rows being surface runoff, the percent contribution from
19 surface runoff, and one of the pore waters that I selected.

20 You'll notice that according to these calculations,
21 you have to have about 98% of the water in the aquifer being
22 recharged by fracture flow and then sitting down in the
23 aquifer and reacting with the minerals in order to arrive at
24 the chemical composition that we see in the perched zone.
25 Now, if I use other individual pore waters and if I allow for

1 some uncertainties in the chemical composition of the
2 minerals by modifying the sodium and calcium content of the
3 minerals, I get a range of results of possible contribution
4 from pore water that ranges from as little as nothing, which
5 is probably unrealistic, up to a maximum of 10%. So, the
6 geochemical data is suggesting that upwards of 90% of that
7 water outside of the mixing zone was ultimately derived from
8 fracture flow. That water moving into the mixing zone
9 beneath the ephemeral stream then gets an additional 50%
10 dilution from fracture flow.

11 This chart is looking at the significance of
12 fracture flow in other areas of the Apache Leap. We have
13 very little data from other areas. But, one of the things
14 that we have here are surface runoff, C-14 activities, and
15 from DSB-1, it's .67, and from two other locations; one
16 beneath the tunnel--there's a tunnel that actually comes
17 underneath the perched aquifer and gets seepage from the
18 perched aquifer. C-14 data is virtually the same, as well as
19 at another location at Oak Flats. Well, runoff right now has
20 a tritium value of about 5 TU and, in DSB-1, it's less--it's
21 below detection. And, yet, at these other locations, we have
22 fairly high tritium values. Now, what that would suggest is
23 that annual additions of fracture water is even more
24 significant at those places. But, we have so little data
25 that I wanted to check that out to see if that, in fact, was

1 what was happening. So, I looked at sulfur isotopes and the
2 chloride/sulfate ratio. Now, why that's useful at the Apache
3 Leap is because there was a smelter that was operating for
4 years and the fallout from the smelter, sulfur fallout, has a
5 distinct isotopic ratio. So, we can use that as a modern
6 tracer. And, in modern runoff, we have the isotopic values
7 of -4 to +1; whereas, precipitation, now that the smelter
8 activity has stopped is more like +8. So, there's a nice
9 distinction that we can compare things with.

10 So, in DSB-1, the aquifer is fairly close to the
11 precipitation value. So, we can now go and compare the
12 tunnel and Oak Flats with these numbers. If these values
13 were actually correct, then we should expect the isotope
14 values to be intermediate between these two. And, in fact,
15 here, we do have intermediate values; whereas, here, it's
16 virtually the same as this. So, so far, this is adding
17 support to the idea of this value being correct; whereas,
18 this one is somewhat in question.

19 Again, with the chloride/sulfate ratios because of
20 this sulfur fallout the runoff has much higher sulfate than
21 it would otherwise. So, we have values--chloride to sulfate
22 ratios of .1 to .2; whereas, at DSB-1, we have values that
23 are 2.1 to 2.3. Now, again, if these values are correct, we
24 expect intermediate values here and, indeed, we do. We have
25 intermediate values; whereas, the Oak Flats, they're closer

1 to DSB-1 again. So, what it looks like is this value is
2 perhaps in question, but at the tunnel, it looks like not
3 only--what's significant about what we're seeing at the
4 tunnel is not only does it appear that fracture flow is
5 significant from the surface to the perched aquifer at that
6 point, but that we have substantial fracture flow from the
7 perched aquifer down to the tunnel, beneath the perched
8 aquifer. So, that's what data we have from more of a
9 regional perspective.

10 Conclusions of the occurrence and significance of
11 fracture flow at Apache Leap. At least, four fracture sets
12 are identified that carry water. Pore water associated with
13 the deepest fracture set contains post bomb carbon. So,
14 we're talking about a current phenomenon. Imbibition per
15 flow along the fracture is minor based on the tritium data,
16 but is a significant source of pore water over time based on
17 the C-14 data. Carbon data distribution in the unsaturated
18 zone appears to be controlled by fracture flows. Flow
19 through fractures intersected by DSB-1 may account for half
20 the water in the aquifer beneath DSB-1 in the mixing zone.
21 By the way, I didn't say DSB-1--DSB stands for deep slant
22 borehole. Reaction pathway models, the net path models,
23 suggest that the remaining water in the aquifer is also
24 largely derived from fracture flow. And, finally, the
25 chloride/sulfate ratios, the del is 34, and the tritium data

1 indicate fracture flow may be more substantial even before
2 the mined haulage tunnel. Now, it's important to remember
3 that we're not talking about--when we say more substantial,
4 not necessarily as a percent of the whole aquifer, but in
5 terms of the annual contribution, that we have a larger
6 volume of water per year flowing into that region from
7 fracture flow.

8 Questions?

9 DR. LANGMUIR: Thank you, Gregg.

10 Pat has a question.

11 DR. DOMENICO: Only the second dot--incidentally, that
12 was very enjoyable. I wonder what NRC will do with this.
13 But, only the second dot, I believe, relates to the fastness
14 of the pathway. I mean, I think everything else relates to
15 the fact that these are pathways, but what you're saying it's
16 the presence of post bomb carbon that suggests that the
17 pathway is fast. Is that a fair statement or do we have
18 other information?

19 DR. DAVIDSON: We have other information also because
20 what we're seeing, say, with the geochemical data is the
21 higher dissolved solid content of the pore water is a result
22 of a long residence time in the pores. What we're seeing in
23 the aquifer is a water composition that does not allow for it
24 to have sat there--for it to have percolated through the
25 matrix to arrive in the aquifer. It required a faster

1 pathway to get there and then it can sit there in the aquifer
2 for a while, but nothing like the length of time required to
3 percolate down through the matrix. And, that time factor is
4 sitting in the aquifer. It has to get there much faster.

5 DR. DOMENICO: But, that's still indeterminate compared
6 to the measurement of post bond carbon, I presume?

7 DR. DAVIDSON: Yeah, I would call it supporting data,
8 not self-conclusive data.

9 DR. LANGMUIR: I just want to congratulate you. I think
10 this is--I'm delighted as a geochemist to see it being used
11 this powerfully as an adjunct to hydrology using both the
12 isotopy and the inorganic chem together to get far more
13 information out of what's going on than you can ever get
14 strictly from hydrologic measurements.

15 On a more nit-picky question for my entertainment
16 here, NETPATH obviously should be used and it could be used
17 at Yucca Mountain presumably, although there's some
18 complications, but I have not heard it being used as a model
19 there. On the NETPATH application, an obvious thing one
20 wants to look at is if you're going to come up with a series
21 of optional solutions to a NETPATH approach to a problem, the
22 bottom line is are the minerals that NETPATH predicts
23 precipitating, in fact, there and do you have the data which
24 allow you to distinguish? Obviously, the answers are about
25 the same, regardless, in terms of percentages. But, do you

1 have the mineralogy from, for example, groundwater versus
2 unsat zone that confirms one of these options more than
3 another?

4 DR. DAVIDSON: Well, there's two points from that, one
5 of which you virtually answered yourself. Yes, it's
6 important to get at what the actual minerals are and my
7 conclusions were based on the best knowledge we had up to
8 this point of what the actual chemical compositions were.
9 And, if I had another hour, I could go in and actually tell
10 you about why the particular chemical compositions of, say,
11 plagioclase were chosen and how remarkably well they fit with
12 possible solutions. If you added just a little bit too much
13 sodium, you got no possible solutions. If you went just a
14 little bit too far the other way and got too much calcium and
15 again you had no realistic solutions. It was confined to a
16 fairly narrow range that gave you practical solutions that,
17 in fact, matched what we know about the actual measured
18 values at the site.

19 On the other hand, you pointed out that for all the
20 different possibilities, the results were virtually the same.
21 So, if my ultimate concern is how much of this water derived
22 from fracture flow and I considered all the possible plays I
23 could think of and a variety of different chemical
24 compositions of the minerals, even though 90% of them are
25 wrong, if they are all giving me the same result, that's a

1 pretty hefty conclusion by itself.

2 DR. LANGMUIR: Thanks very much.

3 DR. CORDING: On the deepest fracture set, how deep were
4 you where you were observing the greatest depth to which you
5 observed the post bomb carbon?

6 DR. DAVIDSON: The water table was 143 meters and we
7 were about 10 meters above that. That's where we saw post
8 bomb carbon at that fracture.

9 DR. CORDING: Thank you.

10 DR. NATIV: Just two questions. Did I get you right
11 that even where you saw post bomb carbon-14, you didn't see
12 any tritium?

13 DR. DAVIDSON: In those two samples?

14 DR. NATIV: Uh-huh?

15 DR. DAVIDSON: The way that my traps worked, I had taken
16 my carbon out for sampling, and when I was taking my water
17 out in both cases, the traps burst. I wish I had that
18 tritium data, but that's what happened to those samples.

19 DR. NATIV: Okay. The other question has to do with
20 the--composition. You come up with some percentage of
21 surface runoff versus pore water. You used sulfur isotopes
22 to confirm some of your observations, but do you have also
23 oxygen-18 or deuterium that I suspect should be different in
24 the surface water than in the unsaturated zone as a
25 constraint on your solution?

1 DR. DAVIDSON: For this particular site, we have no
2 oxygen or deuterium data. There's some analogous studies
3 that are going on at Apache Leap beneath--the tunnel that I
4 spoke of that goes underneath the aquifer first goes under an
5 ephemeral stream that collects water from all of those
6 smaller streams that I spoke of. So, it has water in it much
7 more often during the year and then continues on underneath
8 the perched aquifer. And, studies that have been led by
9 Randy Bassett have indicated that--or they can actually trace
10 individual storm systems to depth from the surface down into
11 fractures seeping into the tunnel. But, we don't have any
12 data for this particular site.

13 DR. NICHOLSON: I think I can speak loud enough. Dr.
14 Domenico made a comment. He's interested in what the NRC is
15 going to do with this information. This--

16 DR. DOMENICO: It was just a passing comment.

17 DR. NICHOLSON: We take everything literally. The NRC
18 does not consider this to be conclusive proof of fracture
19 flow. We think it's an indication of fracture flow and we
20 want to make sure that this information is going to be
21 crafted into the designs and experiments that are now being
22 planned for the Apache Leap tuff site. Randy Bassett is
23 developing a three-dimensional fracture visualization of the
24 whole system. He's using a dual continuum flow and transport
25 model. An experiment will be conducted, a tracer experiment,

1 in which tracers will be used in cooperation with the Center
2 for Nuclear Waste and then we will simulate the results using
3 the approaches I pointed out in one of the earlier viewgraphs
4 in which we look at the whole gamut from discrete fracture
5 narrow models through the various dual continuum models and
6 we want to do this to determine not only the accuracy, but
7 also the uncertainties that you pointed out earlier with
8 regard to how do you take this very site-specific information
9 and factor this into performance assessment models. So,
10 that's what we hope to do with this information.

11 Thank you.

12 DR. LANGMUIR: Thank you. Thanks, Gregg.

13 I think we need to take our break. The break is to
14 be followed by the roundtable. So, all speakers who have
15 made presentations today, please prepare to sit at the
16 roundtable. In addition, before you--let me speak a little
17 bit here. We need to have Scott Tyler, Ron Green, Richard
18 Luckey, Parvis Montazer also at the table.

19 (Whereupon, a brief recess was taken.)

20 DR. LANGMUIR: Okay. Let's get started. The procedure
21 will be as follows. We're going to start out with five
22 minute or less presentations from several folks who were not
23 part of the proceedings earlier in the day. We'll then move
24 to general discussion among the panel members and that will
25 be the protocol. And, as we go around here, if there's

1 sufficient time, we'll go to the floor and discuss questions
2 from the floor, as well as have interactions with people on
3 the floor.

4 Scott Tyler here at the table was on the Ward
5 Valley Committee and has some things to say, I think--at
6 least, it says here--about his infiltration percolation
7 studies. Scott, try and keep it to five minutes.

8 DR. TYLER: I'll do my best.

9 Let me just start off by saying there are four
10 topics that we have listed here. Let me just hit the second
11 one first, if I can, which are what are the common features
12 controlling transport in arid regions? We've been working
13 quite a bit for the Department of Energy on the defense waste
14 site and nuclear testing site both in Yucca and Frenchman
15 Flat on the Nevada Test Site. The work we've done is
16 primarily looking at recharge and solute transport in
17 alluvial basins, coarse textured soils, fairly structureless,
18 without a great deal of fractures present. The results, so
19 far, I think, pretty well concur with what Alan Flint talked
20 about in these coarse textured soils that are fairly thick.
21 There's very little recharge occurring today at lower
22 elevations, if any, in most areas. So, we've got fairly
23 thick soils and the plants do a pretty good job pulling most
24 of the moisture out.

25 There's a few exceptions to that rule. Places

1 where you have frequent or periodic--very frequent and very
2 periodic ponding driven by topography, in those regions you
3 can see significant recharge upwards; significantly in excess
4 of the annual precipitation because of the time and
5 concentration of fluid at the land surface. But, those are
6 fairly small and somewhat unique to the Nevada Test Site.
7 These are the subsidence craters from nuclear testing.

8 On the same topic though with respect to
9 topography, catchment size and surface features do become
10 significantly important in alluvial settings when we start to
11 talk about past climates. And, particularly during the last
12 glaciation, certain areas down at the lower elevations where
13 ephemeral ponding or ephemeral storm water passed, we do see
14 recharge in excess of several centimeters a year occurring
15 during the last glacial period. And then, also during the
16 penultimate glaciation which was about 128,000 years ago,
17 plus or minus a few thousand, widespread recharge at areas at
18 the 4,000 foot elevation with coarse textured soils.
19 Recharge occurred everywhere. So, the past climate is a
20 critical factor for determining recharge in general and then
21 topography comes in fairly significantly if we're kind of on
22 the border of high rainfall and less rainfall. So, that's
23 number two.

24 Let me talk briefly--can I use this microphone over
25 here? I'll try to be as brief as possible. Okay. One of

1 the problems in characterizing fast flow in arid regions--
2 and, what I want to talk about fairly briefly which we
3 haven't talked about today is the role of fracture coatings
4 on fracture flow. Fracture coatings are ubiquitous at--oh,
5 in almost any fracture environment and the coatings
6 themselves may provide a significant alteration to our
7 conceptual model of fluid flow in essentially a dual porosity
8 media. So, I'll just kind of talk very briefly about some
9 experimental results on the effects of fracture coatings on
10 imbibition across the fracture surfaces because we're
11 interested in water running down fractures. The matrix plays
12 a crucial role in how far that water is going to move.

13 We did some laboratory experiments very similar to
14 what Alan Flint and his group has done in the past looking at
15 sorptivity. Sorptivity is a measure of how water is imbibed
16 into, of course, material driven by capillary forces. To
17 make life easy, consider the sorptivity essentially the
18 square root of the saturated hydrolic conductivity. That's
19 the layman's view. There's a few other terms in there, but
20 primarily it really tells us something about the permeability
21 of the material. All we did is we just dunked the rock into
22 a bucket of water and measured how fast the water uptook--
23 took the water up. And, what we did was we took some samples
24 from land surface. These are surface samples from Yucca
25 Mountain, both Tiva and Topopah Springs tuff. We naturally

1 coated--these were primarily desert varnishes and just looked
2 at how fast water imbibes up across a coated fracture
3 surface. Then, my graduate student got very good with a
4 hammer and a chisel and he broke the rock in half and then
5 measured the sorptivity into a fresh fracture surface this
6 way to look at the differences. How important are the
7 coatings to infiltration and sorptivity.

8 Now, let me just show you the effects. Again,
9 consider sorptivity about the square root of the conductivity
10 for now. The red lines are coated fracture sorptivities and
11 the green hashers are uncoated sorptivities measured on 10
12 different samples. And, this is Topopah Spring tuff. What
13 you can see in all cases, the fracture coating significantly
14 reduced the imbibition, significantly reduced the sorptivity
15 by a factor of about 2 and turned that into conductivity and
16 that's a factor of about 4. Okay? So, the fracture
17 coatings--and these were minimally coated fractures,
18 essentially desert varnishes, a significant reduction in the
19 conductivity at the surface of the fracture. That's going to
20 affect how fluid moves down these fractures.

21 Can you just turn the slide projector on? I'll
22 show you what one of these fracture coatings look like
23 perhaps. Okay. This is a scanning electron microscope shot
24 of a coated fracture and it's--I hope you can see if from
25 back there. What the surface is is primarily these plating

1 structures which is essentially the coating with--and, this
2 is 1000X; a thousand multiplication factor on the scale--with
3 these tiny cracks running in between. Behind this is
4 essentially the unweathered or unaltered--in this case,
5 Topopah Spring--tuff. And so, the imbibition across this
6 surface is very different than the imbibition across a
7 freshly broken fracture surface and it has to be accounted
8 for when we start thinking about how we're going to model
9 imbibition into these kinds of systems or interactions
10 between the matrix and the fractures.

11 Let me just show you--turn that off for just a
12 second. How's my time?

13 DR. LANGMUIR: Pretty quick.

14 DR. TYLER: Okay, quickly. This is just elemental
15 analysis of what the coatings are. Again, these are desert
16 varnishes. So, these are very thin coatings. This is coated
17 and uncoated. The primary difference between these two is
18 the coated fracture contains calcium and iron; just what one
19 would expect, calcium carbonate coating and some iron
20 hydroxide coatings. Okay. The rest is all the same. The
21 gold is not in the rock. It was what was coated on there.
22 We did not discover a gold mine.

23 So, what are we going to do with these data? What
24 we did was we just used the TOUGH simulator to look and see
25 what would be the effects of fracture coatings on imbibition;

1 water running down a vertical fracture and imbibing into the
2 tuff, both for coated and uncoated. And, if we can, the
3 second one here, results showed significantly deeper wetting
4 after a two hour rainfall event, just a simulated two hour
5 rainfall event, in the coated Topopah Spring than when we
6 compared it with the uncoated because the fracture coating
7 was acting as a low permeability skin, if you will, on the
8 fractures.

9 Okay. The difficult part of the whole thing was
10 these were two hour simulations and we had to have very small
11 grid spacings in order to be able to converge on a solution,
12 particularly in the matrix, and very small grid spacings in
13 the fractures also in order to get solution. And, it was
14 extremely difficult if you ask the student who did this.
15 And, I won't say it's not impossible anymore because there
16 have been some significant improvements. Zimmerman and
17 Bodvarsson just published something where they simplified
18 dealing with the matrix to essentially a sink term which does
19 reduce the complexity of the numerical simulations, but
20 you'll still need to be simulating essentially at the matrix
21 block scale which might still be on the centimeter to small
22 meter scale which still means if you've got 100 meter cube of
23 rock you want to sample or simulate, you're talking about a
24 million nodes or something like that. So, it's going to be a
25 significant problem. But, the fracture coatings from what

1 we've seen--and, again, we've worked with very nominally
2 coated fractures. Alan showed the slide showing the extent
3 of coatings much more significant than what we had and they
4 really do significantly impede water infiltration into the
5 matrix which may be one of the reasons why we see more rapid
6 transport is because the matrix that the fracture water sees
7 is really not the matrix that we sample in the lab, but
8 rather the fracture coatings.

9 Thanks.

10 DR. LANGMUIR: Thank you, Scott.

11 Something I should have done earlier is to
12 introduce all of our speakers of the panel. Ron Green is
13 from the Center of Nuclear Waste Regulatory Analyses. Ron
14 will be coming up in a moment here. Maybe you could raise
15 your hand, Ron? You just heard from Scott Tyler, Desert
16 Research Institute, State of Nevada. Parvis Montazer
17 representing Nye County. He's an old hand at Yucca Mountain
18 Project from past experience. Richard Luckey, U.S.
19 Geological Survey, Water Resources Division. I guess that's
20 our group.

21 The next brief presentation by Ron Green from
22 CNWRA.

23 DR. GREEN: I'd like to make, I guess, a quick comment
24 on the relative virtue of laboratory scale versus field scale
25 experiments. This comment is based on a perspective of

1 recently completing a five year laboratory scale study on
2 thermally driven moisture redistribution through partially
3 saturated coarse media. This is work that was sponsored by
4 the Nuclear Regulatory Commission.

5 Coming out of this work, we identified a conceptual
6 model of the thermal regime of a high-level waste repository
7 and that's essentially starting off with a initial heating
8 period during which moisture is essentially redistributed as
9 water vapor and it's advection driven. And then, later on,
10 you have a cooling period during which moisture is
11 redistributed as liquid and that's mostly capillarity driven.
12 Then, you're separated by a transitional period. This
13 conceptual model is predicated on having a heat source that's
14 sufficiently hot and a medium whose bulk permeability is
15 sufficiently low that gas pressures can be built up.

16 The ramifications of this conceptual model is
17 illustrated in this slide where you have advection driven
18 moisture redistribution. Your moisture balance is going to
19 be somewhat different than when you have buoyancy driven. In
20 this case where you can have gas pressure built up, you're
21 going to have moisture moving both upward and down. This is
22 for the case with a sufficiently high heat level and
23 sufficiently low permeability compared to buoyancy driven
24 where you have either a low heat load or a high permeability
25 or both. In this case, your moisture would be redistributed

1 somewhat differently--or quite a bit differently than this
2 case. You might ask yourself or question this conceptual
3 model saying, well, the repository is going to be placed into
4 a fractured or a highly fractured welded unit. So, one might
5 not expect to have these gas pressures built up. And, that's
6 what we initially thought when we performed this study.

7 However, looking at some results from the Livermore
8 G-Tunnel experiment that was conducted about 10 years ago in
9 the Grouse Canyon member which has properties similar to the
10 proposed repository horizon and that's a welded high-fracture
11 unit, they placed three sensors to measure gas pressure
12 within about .8 to 2 meters from the heater. The
13 temperatures reached about 240 degrees in the borehole. And,
14 in all three pressure sensors, they detected high pressures.
15 These are just two of the results; these are taken from
16 Ramirez. And, in one case, they had pressures that were
17 measured up to close to three bar which is much more than
18 you'd need to have advection driven gas. Then, the other two
19 cases, you had several psi of pressure. So, on the very
20 little evidence that we have of a heater put into a fracture
21 coarse media, we do see gas pressures built up which
22 questions the conductivity of fractures and their ability to
23 dissipate pressures.

24 Just some quick results. There's currently a large
25 block test that's under construction and supposed to be

1 started next year and this just looks at the numerical model
2 using VTOUGH and the block goes from about a meter and a half
3 upwards. The heater elements are at three and a half meters.
4 So, we go below the ground surface in this model. In this
5 case, we have the heat source at full power which is about
6 300 watts and this one, it's half. And, just by this model
7 which is sensitive to the input parameters--but, in this
8 case, we see that it's essentially buoyancy driven; in this
9 case, it's advection driven. I guess what this tells me is
10 that for laboratory based experiments which we conducted and
11 with our models, they are very sensitive to what you're
12 assuming as far as the properties and what goes into the
13 model.

14 I guess, just to summarize, I would say that
15 conceptual models can be supported by laboratory scale
16 experiments, but they may not be valid for larger problems.
17 Likewise, the physical mechanisms that are present at full
18 scale may not be reproducible at the laboratory scale. And,
19 the most important thing here are the matrix/fracture
20 interactions because it's very difficult to replicate these
21 type of mechanisms at smaller scales; likewise, other
22 possible larger scale heterogeneities and perched water
23 conditions. And, finally, boundary conditions may not be--or
24 they may be prohibitive when you conduct experiments at
25 laboratory scale. I don't mean to say that laboratory

1 experiments are not useful because information gained from
2 laboratory experiments are very often necessary for this type
3 of analysis. However, final conclusions or final
4 determinations of conceptual models may not be possible
5 without doing larger scale experiments, such as field scale.

6 That concludes what I have to say.

7 DR. LANGMUIR: Thank you, Ron.

8 What I'm going to ask is that we hold questions for
9 these speakers of short periods here, few minute period
10 presentations, and hold until the discussion following their
11 five minute presentations.

12 Those of you who are speaking to us now who have
13 overheads, please see to it that the gals in the back of the
14 room get those overheads to copy so that all of us have
15 access to your figures.

16 The next presentation is by Richard Luckey of the
17 U.S. Geological Survey, Water Resources Division. I'm told
18 here the rumor is he's going to talk about perched water at
19 Yucca Mountain and how this bears on our understanding of
20 fast pathways flow and transport if that's still correct.

21 DR. LUCKEY: I'm going to talk about several items
22 extremely briefly, mostly about perched water, but a couple
23 of other items that may relate to the discussion at hand.
24 I'll give you just a little bit of information update.

25 In late May, we started pumping at the C-Hole

1 complex. We did some evaluation pumping to make sure that
2 the pipeline would hold and then we started a 10-day test at
3 about 270 gallons a minute in an open hole. Perhaps, the
4 important observation here is while we had more than 20 feet
5 of drawn-down in the pumped well, at about a quarter of a
6 mile away at the Nye County well, ONC-1, they saw water level
7 change there of about something of the order of a half a
8 foot. Now, that doesn't mean that water moved that quarter
9 of a mile in 10 days. That's just a pressure response and
10 it's real important in this to keep pressure and water
11 separate from each other because they move at quite different
12 speeds. But, anyway, that's a little bit of information on--
13 I won't call it a fast pathway in the saturated zone, but it
14 indicates some connection between the two. In that
15 particular test, we haven't fully processed the P1 and
16 surrounding WT holes. If there was any response in those, it
17 was hidden down in the noise level. We're going to be
18 working real actively, but if there was any response, it was
19 way below a .1 of a foot.

20 And, the other thing I wanted to remind the Board
21 of is that we have a recharge study in Upper Fortymile Wash.
22 Alan talked about some of the wet events that we've had in
23 the study in Upper Fortymile Wash. We have some holes that
24 actually go down to the water table. We did see some
25 recharges. It's fairly shallow depth to water up there, less

1 than 100 feet, but at least we did get water down to that
2 depth.

3 Okay. We'll get about two minutes on perched
4 water. We've talked about perched water a lot. We've spent
5 a long time talking about UZ-1, UZ-14 in past times. More
6 recently, we encountered perched water in SD-7. This is the
7 first borehole that was not up in the Drill Hole Wash,
8 northern Yucca Mountain area, where we encountered perched
9 water. So, we encountered perched water in that one. We
10 dutifully stopped and ran some hydrolic tests and got some
11 hydrochemical samples. This is Test No. 4, our best test.
12 We did three of them previously. This is the first couple of
13 hours of data from that test. It's kind of interesting. It
14 sort of looks like one would expect. It was only when we
15 pumped longer that we got something that didn't quite look
16 like that. This is a draw-down recovery for that test. This
17 is the starting point, a little over 16 feet. At the end of
18 the test, it recovered back to about 12 feet. When we
19 started this whole series of tests, the transducer was
20 submerged to 20 feet. So, we actually lost about eight feet
21 of water here.

22 As a hydrologist, I just got to fit this to a tight
23 curve. The tight curve I chose is a straight line. This is
24 how it fit with a correlation coefficient of about .96. So,
25 basically, this tells us that we're pumping out of a bucket

1 and that the edge of the bucket is darn close to the
2 borehole. I'm not sure what this all means, but this is not
3 an extensive well-connected water body like we saw up to the
4 north. That doesn't mean that there's not a lot of perched
5 water around there. It just probably means that if there is
6 lots of perched water, it occurs in fairly isolated pockets.

7 Do I get the record? I'm 15 seconds early
8 according to my watch.

9 DR. LANGMUIR: Thanks, Richard.

10 Parvis Montazer is going to talk to us next. He is
11 from MEI Corporation, I guess, in California here. He
12 represents Nye County, and he may have changed his mind since
13 he told us this, but he's going to talk about Nye County's
14 view of what fracture flow means for Yucca Mountain.

15 DR. MONTAZER: I've just got some comments if this is
16 okay. I don't want to make a formal presentation because
17 we're going to be here longer than you would like.

18 I'm really excited to see that 11 years ago when we
19 published the conceptual model of the Yucca Mountain, a lot
20 of the things that we stated without any data or any
21 observations are coming true. The fracture flow at that
22 time, we believed, was real. I'm kind of disappointed to see
23 that the common knowledge is still that the matrix flow is
24 generally very slow and the fractures are dry most of the
25 time. It has been demonstrated, as we heard it today and in

1 the past over and over, that the fracture flow is dependent
2 on the contrast between the properties of the fracture and
3 the matrix that's involved. The initial conditions and the
4 boundary conditions and all those affect when the fracture
5 flow occurs.

6 I believe the present conceptual models are
7 acceptable. We have long way to go. This is on the first
8 bullet. And, as far as adequacy, that's a strong word. It's
9 my believe that if we get all the experts in this area and
10 put them to work for 20 years and ask them this question on
11 adequacy, they're still going to come up with a no or a maybe
12 answer. So, I think for the decision making process, the
13 conceptual models are--to state that they are usable, but
14 still they are not adequate. So, there's still a lot of work
15 to be done to improve upon those.

16 As far as the sufficiency of the understanding of
17 the important parameters that control, I believe that there
18 is enough history in soil physics and fracture flow phenomena
19 that give us a good feeling as far as the understanding of
20 what is important. The problem is how to measure what is
21 important. And, more difficult--probably an order of
22 magnitude more difficult in the fracture/matrix type
23 situation is characterization of the chemical properties and,
24 basically, hydrochemical characterization is much, much more
25 difficult than flow characterization.

1 The two phase flow processes should not be
2 forgotten. We heard about the environmental transport today
3 and there was not as much emphasis as I would have liked to
4 hear as far as the advective transport of the chemicals in
5 the vapor phase or in the air phase. A lot of the tritium
6 results that we see could be possibly explained by advection
7 in the air phase.

8 We're in one of the Nye County boreholes, seeing
9 fluctuation responses in the barometric fluctuation all the
10 way down to 1200 feet. We've seen it in the other boreholes
11 at Yucca Mountain at UZ-1 and NRG-4 at the shallower depth.
12 And, these are behaving--these parts of the mountain, the
13 responses are lagged and delayed differently. Therefore,
14 there are different potentials as far as the pneumatic
15 potential is concerned. Basically, what is required to move
16 the mass of air is different at a different part of the
17 mountain at different times. This causes the mass of air to
18 move laterally or vertically in various directions. And,
19 with that, the environmental tracers move also. If you
20 consider this going on for tens of thousands of years, you
21 can see that we can have a considerably different picture
22 than if you just look at the water or percolation vertically.
23 And, the same thing goes with shallower depths and studies
24 in other sites.

25 The question is how do the existence of potential

1 importance of fast pathways influence our views about the
2 suitability of Yucca Mountain? That is the question that I
3 think the existence of the pathways were suspected from
4 early-on, as I recall. It's a matter of whether these fast
5 pathways--or how many of these are and how much of these, as
6 far as volumetrically, as far as both air and water, how much
7 they contribute to the transport of the radionuclides from
8 the repository down to the accessible environment. And, that
9 requires basically--I think the way I see the program,
10 they're just beginning to investigate that because without
11 going down into the tunnel and the ESF facility, this type of
12 question really cannot be answered with vertical boreholes.

13 DR. LANGMUIR: Thank you, Parvis.

14 Let's shift gears just a little bit and now begin
15 more general questioning and commenting around the table. In
16 this process, I'm going to suggest that Pat Domenico and
17 Victor and I co-chair this part of the meeting. One comment
18 that Parvis made that maybe is an appropriate starting point
19 would be how do you measure what's important? You're looking
20 at a three-dimensional system. The more you puncture it, the
21 more you violate its integrity and you spend more money. So,
22 the question is how can you make measurements? It's simple
23 enough perhaps if you can believe that all the flow is
24 vertical, that you could get a handle on that. But, clearly,
25 Yucca Mountain is not that way. We've got, as Alan

1 suggested, significant amounts probably of lateral flow on
2 impermeable beds. How can you get a handle on how much of
3 that is going on? What measurements can we make perhaps from
4 an ESF that would give us some idea of these unmeasurables
5 right now and solve those questions of what we don't know at
6 depth? That's a very vague question which perhaps we can get
7 some of the folks involved in thinking about.

8 Alan, any thoughts?

9 DR. FLINT: Well, I guess I like--I was going to come up
10 with an answer to your first question on what are the
11 problems in characterizing fast flow? And, I was just going
12 to say that's money. I think if we had money, we can do
13 that.

14 I think the analysis from vertical boreholes is
15 actually a good analysis for characterizing the influence of
16 lateral flow. I think it was a while back, Ed Kwicklis put
17 out a paper where he looked at the appearance of lateral flow
18 using a soil physics approach where we take the water
19 contents, the water potentials, the properties, and show that
20 there are different zones in the bedded units that have
21 upward gradients. So, it's a good indication that there's
22 been lateral flow. And, I think if we can look at a variety
23 of locations, we have a much better approach at handling
24 that.

25 I'm not sure how much the geochemistry will be able

1 to help answer that question, but I guess my basic philosophy
2 on all of this is that it has to be a combination of field
3 measurements and observations and numerical models that can
4 reproduce some of those results that can account for the
5 tritium values or carbon-14 values. It has to account for
6 two things; one, the occurrence of tritium and it also has to
7 account for the lack of tritium in a lot of the locations
8 that we've looked. And, I think that's real important that
9 we be able to devote to those.

10 DR. LANGMUIR: Dick Luckey, any thoughts? Let me shift
11 gears for you a little bit here. I've been concerned that
12 you may or may not know as much as you'd like to know or need
13 to know, perhaps, by 1998 from the surface based testing
14 effort at Yucca Mountain to competently contribute defensible
15 positions to DOE for their site suitability decision. That's
16 a loaded question for you. How do you feel about the status
17 of information collection from surface based testing at this
18 point and where it's headed?

19 DR. LUCKEY: Well, if I put kind of my limited hat on
20 as, you know, saturated zone studies, I don't get a whole lot
21 out of the ESF unless somebody badly miscalculated. I think
22 that one of the things that--

23 DR. LANGMUIR: You're subsurface and Alan is surface and
24 we didn't have anybody in the middle today.

25 DR. LUCKEY: One of the things I do think we are getting

1 out of the surface based testing that I think is going to
2 really help us a lot in understanding these fast flows is
3 this perched water information. Now, we don't have a lot of
4 it. We've only been able to test it in two boreholes. One
5 of them, I think, is at UZ-14. People are going to be
6 uncomfortable with any isotopic and chemical results that
7 come out of that because of the contamination that was
8 encountered from presumably drilling G-1. But, places like
9 SD-7 where we were able to get the chemical samples, we
10 finally have a place where we can maybe catch some of this
11 fast water moving down, collect it in one place, and get a
12 sample of it. And, that's going to be a major--once someone
13 sorts that out--and I'm interested in sorting it out. I
14 don't have that information. Once the picture of perched
15 water is all sorted out, I think that's going to tell us a
16 lot about fast pathways and the unsaturated zone or possibly
17 lack of those.

18 DR. LANGMUIR: You know, I had an idea some time ago
19 that the perched water might represent a meaningful mixture
20 of matrix versus fracture flow and a way of backing out
21 proportions of the two historically that might have
22 contributed to that perched water. I don't know whether
23 that's gone anywhere or not. That's a nice geochemical
24 problem. Lots and lots of geochemical tools could be brought
25 to bear on making that calculation of mixture.

1 DR. LUCKEY: I think that's going to be a tough problem
2 and I don't expect the results of that to be dependent
3 because I think that perched water is probably going to be a
4 mixture of lots of different fast paths from lots of
5 different places at lots of different times plus some matrix
6 flow. And, that may make it a very difficult problem, but
7 it's the best shot we have at it.

8 DR. LANGMUIR: Alan, do you have a comment?

9 DR. FLINT: Yeah. Of course, I think we all realize
10 that it's not a question of matrix versus fracture flow.
11 Both go on into different extents and different locations.
12 If we look at the perched water body underneath, a large
13 exposure of nonwelded tuffs.

14 There's one thing we learned from the ESF for those
15 that have been in there. If you haven't, it's very
16 interesting. It's the intact nature of the Paintbrush tuffs.
17 You can't find fractures that look like they're flowing
18 there and you can't find--the only way you can tell there was
19 a fault is because of the offset of the beds. In many cases,
20 it seems to me with that information the fastest pathway from
21 the surface to the water table may be through the PTn where
22 it's exposed and then into the Topopah Spring where we have
23 enough of a saturation to induce fracture flow in the Topopah
24 and then move it down. Where that happens at the high enough
25 rates, it seems that we get down to the vitrophyre, the basal

1 vitrophyre, of the Topopah which has a low permeability which
2 is where we see the perching occur. Anywhere else, if you
3 have to go through the Tiva first, you're certainly delayed.
4 But, it seems that we have to account for the fact that we
5 may have fast fracture flow in the near-surface until we get
6 to the PTn unless it's exposed directly. Transition into
7 matrix flow.

8 And then, we have to start the process up again. I
9 talked about initiating fracture flow at the surface because
10 of rainfall. The next issue that we have to address is how
11 the PTn deals with this water and whether or not it can re-
12 initiate fracture flow and if it re-initiates it somewhere
13 else over a different kind of area. And, if it can initiate
14 it over a fracture area, such as going through Drill Hole
15 Wash. And, that is something, I think, we have to account
16 for; that we do have both going on and for a long period of
17 time it is going through a matrix.

18 DR. LANGMUIR: Maybe a little shift in gears here. I'm
19 wondering if Tom Nicholson and Gregg Davidson over there have
20 thought about how they might apply your chemical methods to
21 Yucca Mountain. If they know enough about the Yucca Mountain
22 problem? Tom shakes his head no.

23 I can see some ways that I would like to see it
24 applied and maybe attempts have been made to apply it, but I
25 guess it's not a fair question without geochemists sitting at

1 the table who are working at Yucca Mountain. We shall wait
2 for tomorrow when we're going to have more isotopic
3 discussion.

4 Victor, do you have some questions?

5 DR. PALCIAUSKAS: I'd like to ask several of the people,
6 Scott Tyler or Bridget or Ronit or even Alan, what is the
7 prospect of getting a respectable relationship between the
8 overall precipitation and the deeper percolation, a
9 functional relation between these quantities that will be
10 useful in the future modeling in the next couple years? And,
11 how much will it cost?

12 DR. FLINT: That comes free. I think we've seen a good
13 relationship between rainfall and infiltration and fracture
14 flow in the near-surface. But, based on the properties of
15 the rock, based on the PTn and some modeling we had done a
16 couple years ago that was in high-level waste, what we're
17 seeing going on in the PTn now, lateral flow and divergences,
18 is a result of what the climate was like 5,000 or 10,000
19 years ago. So, anything that we see in this period of time
20 is not going to be--we're not going to see the results of
21 that with the exception of possible geochemical signatures
22 that we might see at depth having tritium or bomb pulse
23 chloride-36. But, I think we've developed a fairly good
24 technique for taking rainfall and past/future rainfall for
25 thousands of years based on what we understand about the

1 system and we can, I think, do a real credible job of
2 controlling near-surface flux. We can have that flux go for
3 thousands of years. We can put the conditions that we think
4 might occur.

5 The question is is integration between the near-
6 surface flux and how it responds to climate because it
7 responds almost immediately and what happens deeper down in
8 the mountain and the fact that our model becomes much more
9 generalized, much larger grid block, and those pulses that
10 change by orders of magnitude over 30 meters to 60 meters may
11 not be reflected very well and that signal may get maybe
12 very, very diffuse where we can start very specific pathway
13 flow, very specific locations. And, taking that information
14 and have to have it match up with that same pathway down deep
15 is going to be a real trick.

16 DR. SCANLON: I guess, from the data that I was showing,
17 it seems like--the soil physics data, the water potential
18 data, there's a net upward flux in the top 20 or 30 meters in
19 the Nevada Test Site, the Texas, and probably Ward Valley.
20 You know, so how long that takes to develop is questionable
21 because it depends maybe how actively the roots can remove
22 the water. But, it suggests, you know, if you depend on
23 evaporation alone, it would take thousands of years to
24 develop. So, we may be in a drying cycle near the surface
25 and the deeper water that's moving down may be older,

1 probably older water, and it's balanced by upward geothermal
2 vapor flow and so negligible fluxes below that. So, I mean,
3 that's probably not much help.

4 DR. FLINT: Well, that's something Bridget and I talked
5 about for just a couple of seconds this morning is that the
6 paper that we had done for Yucca Mountain, I think, was two
7 years ago where we show the only way we could match the
8 profiles in some of the boreholes we saw was if we had over
9 1500 years of an upward flux, a dryout zone in the near-
10 surface, which penetrates down to a couple hundred feet.
11 Those are on south facing slopes, high radiation loads. But,
12 she's absolutely right. In some parts of Yucca Mountain,
13 we're going to see downward flux. In other parts, we're
14 going to see upward flux. I think that's real important.

15 DR. LANGMUIR: Alan Flint, as I recall, a few years ago,
16 you suggested you had a template; in effect, you could
17 predict the places at the surface where infiltration was
18 sufficient and the properties of the rock were sufficient so
19 you could predict that you have perched water below those
20 areas and not below some other areas. Is that a correct
21 recollection of where you'd gotten a year or two ago that you
22 could predict where perched water would be?

23 DR. FLINT: We had surface fluxes that we know if the
24 lateral diversion was not too great would exceed the capacity
25 of the underlying rock even with fractures to allow it to

1 pass in unsaturated state and that perched water bodies would
2 occur. We showed a couple of zones even within the Topopah
3 Spring that have had enough flux that you would get perched
4 water occurring.

5 I think it's important to separate when we start
6 dealing with perched water, there are several mechanisms that
7 lead to perched water. When we see the large mechanism to
8 the north, we think that has to do with, one, high rainfall
9 rates; two, the higher infiltration capacities of the exposed
10 bedrock. I think those are all important.

11 DR. LANGMUIR: This is this very steep--

12 DR. FLINT: This is to the north actually where the
13 steep gradient is. And, we would predict perched water
14 occurring down farther south at SD-7 under a completely
15 different mechanism. And, it was a little surprising--it's
16 good to hear what Dick has to say about it being a fairly
17 limited system because that's what we would expect. On the
18 upgradient side of a fault, we would expect to see perched
19 water if water is finding that fault to be a barrier and
20 that's what Montazer and Wilson put out 10 years ago. On the
21 downgradient side of that fault, we would not expect to see
22 that which is, although a long way away, that's what UZ-16
23 showed. So, we have two holes either side of a fault, some
24 distance apart; one has perched water, one doesn't. It's
25 another mechanism. We have to always keep in mind that there

1 are different mechanisms of play in the development of
2 perched water and we don't want to think it's all the same
3 thing. We have to keep that separate.

4 DR. CORDING: Alan, you had mentioned that it could be a
5 combination of the vertical fracture flow and then matrix
6 flow when we get to perched areas. But, in your view of the
7 lateral flow, what do we know at this point about the lateral
8 fracture flow? A lot of the lateral flow could also be
9 fracture flow either on bedding or on vertical fractures that
10 are within a given portion of the stratigraphy or a given
11 formation. So, is your view on the lateral flow--what do we
12 know at this point about lateral flow in terms of the types
13 of permeabilities or fluxes you would be anticipating?

14 DR. FLINT: Where we expect to see most of the lateral
15 flow is in the Paintbrush nonwelded tuffs. In a soils
16 physics analysis, whenever you have a contrast in properties,
17 whether it be an increase in porosity or decrease in
18 porosity, you have an enhanced potential for lateral flow.
19 And, with the dipping beds that makes quite an contribution.
20 The only place that I've really noted horizontal fracturing
21 is in the top of the Tiva--or it's in middle Tiva. We have
22 quite a few horizontal features that would enhance lateral
23 flow even through matrix blocks. As we go deeper down into
24 the Tiva into the columnar unit and then into the moderately
25 welded columnar unit, they're very much vertical fractures.

1 The most impermeable rock we have when we get into the
2 Topopah which is the vitric cap rock of the Topopah it's
3 extremely fractured vertically, although we can't find
4 anything but fill in those fractures from old flow pathways
5 perhaps. For the most part, we see vertical fracturing.

6 So, my guess is and, based on the analysis that Ed
7 Kwicklis did and some that Lorri has done in the paper she
8 has coming out fairly soon, we can strip off a whole lot of
9 that water in the PTn more than anyplace else we have on the
10 mountain. That's the most effective place. Of course, the
11 question becomes where does it go?

12 DR. CORDING: But, you could also get lateral flow in a
13 zone--let's say, a vertically fractured zone sitting on top
14 of something that has a relatively lower fracture
15 permeability.

16 DR. FLINT: Right. You can have the fracture flow in
17 the--you could have horizontal flow in fractures. In fact,
18 we believe that the vitrophyre where it's causing perched
19 water to occur above that in the Topopah highly fractured
20 zone, probably a pretty good pathway down toward the Bow
21 Ridge Fault. And, that becomes critically important if you
22 have waste that manages to get into the water that's moving
23 down vertically. It hits this vitric zone if the flux is
24 high enough because you had a lot of condensate or whatever
25 that lateral flow which would occur if we exceeded probably

1 .2 millimeter a year because that's the capacity of that
2 vitrophere, would head down toward the Bow Ridge Fault, and
3 bypass the whole Calico Hills unit. And, that makes that
4 crucially important. So, in that case, we might have quite a
5 bit of flow going through welded tuff through the fractures.

6 DR. CORDING: And, ultimately, dumping it into the major
7 continuous features which would be the fault system.

8 DR. FLINT: Well, that's a question, I think, that Dick
9 really has to address is what is the role of those faults in
10 the saturated zone? Are they conduits, barriers, and that's
11 something I think they're working on quite a bit.

12 DR. CORDING: Well, I'm thinking just of getting down to
13 that point, you know, even in the unsaturated zone.

14 DR. FLINT: Yeah. I think the faults are very important
15 and one of the approaches we've taken in applying our near-
16 surface infiltration studies to faults is that we talked
17 about the fastest pathways. We simply defined the faults
18 that have been mapped, and if you look at the fault segments
19 in a GIS system, there are over 3,000 of them that have high
20 fracture densities. If you're going to look for a fast
21 pathway, that's a good place to start. I mean, why go for
22 unknowns when you have 3,000 that you know about? And, the
23 question we get to is are they covered, do they have a lot of
24 soil, very little soil? The second question is how do they
25 behave when we get lateral flow underground. At the surface

1 where it rains, they get wet and water goes straight down.
2 If it's coming sideways and comes upon the same fracture,
3 it's a different mechanism, it's a different process that
4 goes on. So, they have different roles at different
5 locations in the mountain whether they're barriers or
6 pathways because they could be both and probably are both.

7 DR. DOMENICO: I have a question for anybody, almost
8 anybody. Will the ESF in the sense that it's consuming most
9 of the resources--will the ESF contribute to our
10 understanding of some of the problems that we're talking
11 about today and, if not, how can certain things be designed
12 so we would further understand the question of fast pathways
13 perhaps or transports through the vadose zone? Anybody? It
14 is actually the large consumer of resources here.

15 DR. MONTAZER: I think from the beginning it was known
16 that really all the surface based testing that were going on
17 were designed or planned for the site were going to really
18 address the features that are, more or less, horizontal. It
19 was required to--most of the fractures are vertical. In
20 order to see and characterize fractures or to really get in
21 touch with the fractures in the repository horizon, an ESF is
22 really essential. Without that, you will have to drill many,
23 many horizontal boreholes maybe from Solitario Canyon or
24 something like that to be able to statistically intercept
25 features that are not amenable to be sampled by vertical and

1 near vertical boreholes. So, in that sense, I think that
2 just adds a different--ESF adds a different dimension and
3 understanding.

4 The other thing is that I worked underground for
5 three years when I did my dissertation. The perspective that
6 you get from the behavior of rock underground is totally
7 different from what you see in the surface. What I learned
8 underground, there was no way I could have learned it at the
9 surface by looking at rock and poking holes and testing it.
10 Large scale observations and tests underground, I think, are
11 essential.

12 DR. DOMENICO: We haven't said anything about the
13 possibility of faults being the fast pathways. Will the ESF
14 testing resolve that issue one way or another? Will that
15 come out of it?

16 DR. MONTAZER: It was originally planned, if I recall.
17 I don't think much has changed.

18 DR. DOMENICO: Which, I think, is a big question, you
19 know.

20 DR. MONTAZER: The intention--it's not my place to say
21 what the project is intending to do. From what I recall, the
22 design of the ESF--which I wrote as far as hydrologic testing
23 was concerned which I wrote the majority or part of it--was
24 designed to address the characterization of the faults in
25 both the Topopah Spring and Calico Hills.

1 DR. DOMENICO: Well, we have a tunnel at Apache Leap, I
2 believe. What has that contributed to understanding the
3 hydrology there, your tunnel system, in terms of the
4 pathways, in terms of the things that we've talked about?

5 DR. NICHOLSON: Okay. The haulage tunnel which is
6 underneath the Apache Leap tuff site began as a very small
7 grain which they just wanted to say what is the nature of the
8 geochemistry and can you measure water coming through certain
9 fractures they thought extended from the surface down under
10 Quinn Creek. They were able to measure flows from seeps up
11 to 10 liters per day. They were able to collect geochemical
12 samples that said that, yes, in fact, there seemed to be a
13 connection. They have now over the course of the last three
14 years begun to do some very detailed analysis of the
15 geochemistry and they've been looking at the lag between
16 rainfall and runoff from Quinn Creek with the subsequent
17 seepage measurements at depth. And so, that is the basis on
18 which now we're proposing to do experiments.

19 Now, what we want to do, as I said earlier, is that
20 Randy using strati-model is visualizing the fracture system
21 there under Quinn Creek and we are going to then design a
22 series of experiments, infiltration and tracer experiments,
23 that's going to quickly identify are there fast pathways?
24 And then, looking at the range from the, what I'll call,
25 discrete fracture network which is really more of a

1 condition, discrete fracture network model, all the way to
2 the equivalent porous media models, we're going to try to
3 collect enough information to discriminate between those
4 models.

5 Now, the answer is we do not categorically say,
6 yes, there is very fast pathways and we know exactly where
7 those fast pathways are. We think there's a very strong
8 indication there's a fast pathway. The relationship between
9 the rainfall runoff and seeps at depth indicate that in
10 geochemistry. But, to be able to point to a discrete
11 fracture and say that's where it's coming from, we can't say
12 at the moment. And, that's why we want to do the tracer
13 experiments.

14 DR. DOMENICO: You know, really how Alan addressed the
15 first question, the problem characterizing fast flow, he
16 said, was money. I think it's time. A lot of things have
17 been raised here within the scope of this program. It seems
18 very, very difficult to accommodate all those questions
19 within the time frame that we seem to be operating under.
20 But, I guess, time is money.

21 My last question is--and anybody can answer this
22 because I'm getting confused now about what the prevailing
23 conceptual model for the vadose zone is at Yucca Mountain and
24 I think it differs whether or not you're in performance
25 assessment or whether or not you're in science. Does the

1 prevailing conceptual model at Yucca Mountain from a
2 performance assessment perspective in any way seemingly
3 reflect some of the things that we've been talking about
4 today? I know your view of the conceptual model and my
5 feeling differs depending upon different parts of the
6 program.

7 DR. FLINT: I agree. I think that it differs in
8 different parts of the program. I think that the performance
9 assessment people have made tremendous strides in
10 characterizing--in putting site characterization information
11 into their models, putting the data into their models,
12 putting a lot of the ideas into their models, and I think
13 that we're coming to much more of a consensus now with the
14 performance assessment people and the site characterization
15 people. I think we have worked out a pretty good
16 relationship where we exchange information, exchange ideas,
17 and I think we're doing actually fairly well now with a lot
18 of things going on in performance assessment.

19 DR. DOMENICO: So, you think there will be one
20 prevailing conceptual model for all groups someday?

21 DR. FLINT: I think, we're getting there because I think
22 that the science can't play too many more tricks on us. And,
23 hearing from Israel where we see that, gee, thick soils don't
24 seem to respond the same as thin soils and what Bridget has
25 done, I think we're all sort of finding out that hydrology is

1 hydrology. And, if we keep attacking the problem as a
2 science problem and--I think the reason that performance
3 assessment is doing better is because I think they came over
4 to our way of thinking a little bit.

5 DR. DOMENICO: I'll buy that. I'll go along with that.

6 DR. MONTAZER: The way I perceive performance assessment
7 interaction with science is that performance assessment
8 studies the effect of the impact of the extremes with
9 simplifications. To science, the site characterization, all
10 the other part of the program, are trying to minimize that
11 range of uncertainty so that those extremes will be narrowed
12 down. I think, performance assessment has to make a lot of
13 simplifications, but those simplifications has to be
14 conservative. They have to be conservative. And, it's up to
15 the scientists to try to come up with the data and
16 information and support to justify basically bringing those--
17 reducing the conservatism.

18 DR. NATIV: I may be breaking into an open door since
19 I'm an outsider and I'm not fully aware of all the range or
20 the spectrum of studies that have been carried out throughout
21 the years.

22 DR. LANGMUIR: But, you lack our prejudice. So, it will
23 be refreshing. Go ahead?

24 DR. NATIV: There are three issues that haven't been
25 touched upon in this meeting and may be fairly well-studied

1 outside this room, but I think they bear some importance.
2 The first issue has to do with colloids, particle movement.
3 I've heard about water. I've heard about solutes moving in
4 the fractures. I haven't heard anything about colloid
5 migration in the fracture zone and maybe this is something
6 that has been studied. We just didn't mention it today. I
7 think it's important once potential contaminants are going to
8 be introduced into the system. We really need to know when
9 we talk about sorption, are we talking about the sorption
10 into immobile skeleton or onto mobile particles that may
11 carry the contaminants perhaps easier in a fracture than in a
12 porous system? So, this is one thing that has not been
13 addressed. I think it's worthwhile thinking about it.

14 The other one has to do with the connectivity and
15 the extent of the geometry of the fracture system. This is
16 something that has been discussed over and over. And, again,
17 it's possible that this has been done and I'm sorry if I'm
18 going to waste words on something that has been done, but was
19 not mentioned here. When we tried to characterize the
20 fracture system in the chalk in the Negev Desert in Israel,
21 there was a lot of support for the hydrologist that came from
22 structural geologist because you see so many fractures. Some
23 of them are small, some of them are not connected, others are
24 filled with possibly impermeable material, others may be
25 open. A lot of insight into the fracture system came from

1 structural geologists who looked at the lineaments from land
2 site and from air photos and they went and did some extensive
3 field work trying to confirm and verify what was studied or
4 what was the result from the picture interpretation forces
5 using softwares. And, it seems like not all fractures bear
6 the same importance. Not all joints have the same
7 importance. There are these super highways that we would
8 like to find out and there are others that are less
9 important. As a hydrologist, I couldn't sort them. We got a
10 lot of help from the structural geologists in that respect.
11 And, maybe this has been done and I'm just talking and
12 wasting your time.

13 The other issue that I think is important and Scott
14 Tyler mentioned it, he was referring to the coating of the
15 fracture as a potential barrier for imbibition. Aside from
16 the retardation that comes with the coating, there is the
17 chemical issue that has been touched upon. What will sorb or
18 interact with these coatings and what will not and what type
19 of--what effect is it going to have? The chemical
20 interaction; I'm not talking now permeability or retardation.
21 What is the impact of this coating in terms of attenuation
22 of radionuclides and other contaminants?

23 DR. BOSSOUD: If no one would answer that, I'd like to
24 answer that one.

25 DR. LANGMUIR: Go for it. Come on up and introduce

1 yourself.

2 DR. BOSSOUD: Okay. My name is Gilles Bossoud. I'm
3 project leader for site characterization and regulatory
4 studies at Los Alamos.

5 We have as part of our game plan to do transport
6 which incidentally has not yet been mentioned here because
7 the transport we're doing is purely of a chemical nature and
8 how it combines with all the hydrologic parameters that are
9 given to us. And, we are studying colloids. We have been
10 directed by the DOE to do so. We are looking at the scaling
11 and doing scaling studies to see how we can scale our models
12 and, therefore, build confidence in them. This is also what
13 other laboratories are doing for hydrology. So, scaling
14 issues are being addressed.

15 We are looking at the connectivity of fractures,
16 but as you pointed out, because every fracture is unique,
17 number one, and not every fracture is involved in flow--as a
18 matter of fact, we have not established that the fractures
19 are involved in flow at Yucca Mountain, by the way--that we
20 have to look at how we can integrate this into our modeling
21 efforts. And, we are working with the USGS, with Lawrence
22 Berkley Labs and Lawrence Livermore, all these laboratories
23 are working very hard to input these scaling properties into
24 what we're doing, both in terms of discrete fracture studies,
25 how we can couple them to dual permeability, dual porosity,

1 equivalent continuum models, and 2-D and 3-D. So, in other
2 words, even though it's not represented, there is a major,
3 major effort with a 10 year/15 year history behind it. And,
4 what I would like you to pay attention to tomorrow when the
5 talks are about retardation, the true retardation, sorption,
6 diffusion, and the like.

7 And, I would like to finish with, yes, we're also
8 looking at fracture coatings. We have a group studying
9 fracture coatings and how they sorb. But, I think it's
10 important to know that these efforts are going on. They're
11 very active and very mature.

12 Thank you.

13 DR. LANGMUIR: Thank you. I might add to that that the
14 DOE has a very active colloid program which I don't always
15 agree with, but--as to the importance thereof. But, there's
16 no doubt that if you get a colloid to a fracture in rapid and
17 fast pathway, it's going to move. I think we can talk about
18 this some other time, but getting it to the fracture from the
19 waste packages is the issue in my view. So, there are very
20 active programs in all of these areas. There's fracture
21 mapping on the surface and fractures at depth which will be
22 looked at from the ESF and that's all being tied together, as
23 well.

24 Tom, did you have a question or comment?

25 DR. NICHOLSON: I just wanted to mention that we didn't

1 even discuss today some of the work going on at the Apache
2 Leap tuff. Our--and building measurements were specifically
3 to look at the role of connectivity of certain fractures.
4 So, single crosshole tracer experiments are looking and using
5 air and helium as a way of understanding that connectivity.
6 And, to some extent, the work that Gregg discussed, there was
7 also geochemical evidence of looking at connectivity in the
8 so-called fast pathways. So, we are very much addressing
9 that. And when we talk, we don't always talk about
10 connectivity or super conductors, but that's what we mean.

11 DR. TYLER: Kind of addressing the gentleman who was
12 just up and also a question that Victor asked earlier with
13 respect to predicting fluxes. I think there's an important
14 issue that we need to discuss here and that's that we
15 probably can predict fluid fluxes reasonably well based on
16 the climatological and hydrologic characteristics at the
17 surface and also couple that with what we understand about
18 the groundwater system, as far as the magnitude of recharge
19 that the system can accept. But, I think the more principal
20 and important issue is that recent bomb pulse tracers have
21 been found at depth which the fluxes may still be very small,
22 but the velocities in certain regions are extremely high.

23 So, it's important to disconnect a little bit here
24 the issue of just general fluxes and then the issue of
25 transport because they are in these fractured systems quite

1 disconnected in many ways. I think I'd like to see a little
2 more discussion on the issues of fast pathways that have
3 already been documented. Is the ESF going to be able to--one
4 fear I have is that the ESF won't find anything and then how
5 do you explain the tracers that have been found at depth from
6 the surface based testing to date?

7 DR. LANGMUIR: I hope you'll be here tomorrow when we
8 talk about--June Fabryka-Martin talks about chlorine-36 data.
9 Al Yang which will be around, as well, and perhaps can talk
10 a little bit about carbon-14 data.

11 Ron, a question or comment?

12 DR. GREEN: I just have a belated comment to Scott and
13 that's the issue of flux versus fast path. You know, we've
14 seen a lot of evidence--maybe not here yet. I think,
15 tomorrow, we'll see some of--very small amounts of certain
16 tracers showing up at depth. But, I think, one question that
17 has to be asked is the quantities involved. If we see very
18 small pathways taking very small amounts of bomb pulse
19 tracers at depth, is that sufficient to disqualify an area or
20 a site if these quantities are extremely small, or I think
21 one of the questions we have to ask is what's the total flux
22 involved because we're never going to find a site that acts
23 as one continuous body that acts all in the same way.

24 DR. FLINT: I think that I've talked to June about this
25 a little bit, but when she talks tomorrow, she's done some

1 real interesting work that tries to show the relation between
2 the discordant ages between chloride-36, chloride,
3 tritium, and in terms of a percentage of mixing and how much
4 water you would have to take to get one signature and that
5 these things really can provide a coherent story. And, I
6 think, hopefully tomorrow she'll be able to talk about that,
7 but I think she's done some real interesting work in that
8 area and can address that.

9 DR. LANGMUIR: Several times we've talked about--Scott
10 started the ball rolling on fracture coatings. I thought of
11 this, but never really have gone as far as he obviously did
12 go with it with imbibition versus minimized imbibition. And,
13 certainly, this is affecting the interaction between fracture
14 flow and matrix flow. Barbara Carlos, as I recall, for Los
15 Alamos did a lot of work on fracture coating at Los Alamos
16 some years ago. I have not seen it being applied to
17 characterization of flow in Yucca Mountain materials in the
18 geology there.

19 Maybe, Alan has or someone else has, maybe Ardyth
20 Simmons who was here earlier knows whether this has been
21 done?

22 DR. FLINT: While she's getting up, I want to say that
23 we've done a lot of work similar to what Scott has done and
24 there is a large range in the properties. In many cases--in
25 fact, almost all cases at the surface of Yucca Mountain,

1 these coatings are an enhancement to flow because they can--
2 or they don't make it go faster through the fractures. They
3 hold it up so that it can go into the matrix which is what we
4 see in some of our neutron logs. And so, the fracture
5 coatings can both increase the sorptivity of the rock for
6 water or it can cause it to go faster. It can go both ways.

7 DR. TYLER: Yeah, we've found the same thing also in the
8 Tiva Canyon; that the Tiva Canyon coated material was indeed
9 higher permeability or higher sorptivity than the uncoated.
10 But, when you moved into the Topopah Spring, it went the
11 other way.

12 DR. FLINT: You're talking about desert varnish?

13 DR. TYLER: Right, surface coatings.

14 DR. LANGMUIR: Have you left anything for Ardyth?

15 MS. SIMMONS: Just a little. Barbara's work has been
16 ongoing for a number of years and it's being applied in two
17 primary areas. One, it's being used to improve the level of
18 detail that we're able to incorporate in our 3-D geologic
19 model and that serves as the framework for the site scale
20 hydrologic model that the USGS and Lawrence Berkley have been
21 working on. So, that's one area.

22 A second is that Barbara has been looking in detail
23 at the composition of these fracture coatings more from the
24 standpoint of how they could help in terms of radionuclide
25 sorption. So, the aspect in which her work would apply to

1 the hydrologic model with regard to flow would probably be in
2 the way that it's input into the framework model for geology,
3 but it will be brought in and is being brought in in detail
4 as we look at the role that those fractures play in terms of
5 sorption.

6 Right now, it's been shown and I think it was
7 discussed at your Board meeting last July that calcite in the
8 fracture coatings could be significant for the retardation of
9 neptunium and that hypothesis is being looked at with regard
10 to some of the other coatings, as well.

11 DR. LANGMUIR: I guess my question, more specifically,
12 was more what Alan was commenting on; whether there's been
13 any measurements of the interplay between flow and fractures
14 and getting into the matrix as you retard flow down a
15 fracture zone and the matrix interacts as a hydrologic sink
16 and feed. How much do we know about the effective coatings
17 on that process as it impacts the overall model for the
18 mountain?

19 DR. FLINT: Well, we are doing some measurements in the
20 laboratory, at least. It's a fairly young study that, I
21 think, all of us are talking about stuff that Scott's done or
22 that Van Genuchten had done on this interaction. We think
23 it's important. It's certainly in the near-surface. 90% of
24 the fractures are poly-filled. The kinds of observations
25 that we make now--and we do deal a lot with the structural

1 engineers' geology to find out which features have open
2 fractures and which ones have closed fractures. And, the
3 open ones are probably, you know, the northeast trending
4 features going against the stress field. But, for the most
5 part, we have to deal with coatings, absolutely. It's a real
6 dual permeability model, one being a matrix of coatings and
7 the other being a rock. But, there's a lot more to be
8 learned from coatings, a tremendous amount.

9 The work that Joe Whelan in the USGS trying to get
10 age dating information, looking for dissolution surfaces.
11 That tells us a lot about how old these coatings are, about
12 some of the pathways, and which fractures are actually active
13 and have been active in the past and how we change from one
14 path to another path. So, there's a lot of information to be
15 gained from coatings. I think they're real important.

16 DR. LANGMUIR: Thank you.

17 Any more questions or comments from folks at the
18 table?

19 DR. CANTLON: I'd like to get Alan to comment. Many of
20 those fractures have rooted shrubs. You can see where you've
21 exposed the area. Do you have any feeling about the role of
22 the transpiration of those shrubs in changing the water
23 balance and, therefore, the movement of water down the
24 fracture?

25 DR. FLINT: We've seen the same thing. In particular,

1 if you look at the Ghost Dance Fault, there are shrub roots
2 that are down probably 15 meters or more that have been
3 taking water out of those zones. I think those are more
4 unique in those cases where the fractures are fairly wide.
5 In 99% of the fractures that we've looked at at the near-
6 surface, they don't have roots in them. But, I think that
7 the evapotranspiration processes are critical to
8 understanding how this system works. As I showed earlier, we
9 have up to 80 millimeters a year going into the tuff, very
10 few roots in there. Does that water go back out through
11 evapotranspiration processes? And, I think it can by drying
12 out the soil which is covered with plants. And, even if we
13 go to even deeper soils, we know that there are roots down to
14 at least 10 meters. So, I think that that process is very
15 important. We have ongoing studies now to look at that.
16 We're getting instrumentation into the bedrock and, as
17 Bridget said, I think that's a question about what direction
18 the flow is going and those near-surface processes are
19 critical to understand and the plants play a role not
20 necessarily by being directly involved in the fractures, but
21 by drying out the soils near the surface. That water can
22 come back up.

23 DR. LANGMUIR: If there's no more from the table, let's
24 open this up for public comment. I have a little note from
25 Linda Lehman that she'd like to make a public comment or

1 question if Linda is still here. If not, I can read it.

2 (Pause.)

3 DR. LANGMUIR: I can read it. This is Linda Lehman
4 speaking.

5 --would be useful in defending fast paths and
6 general flow paths is temperature data. To date, little of
7 this has been collected or, if collected, not released.
8 Example, UZ-14, two years later, we don't have the
9 temperature data on the perched water encountered. We do
10 have other chemistry data, such as isotopic data.

11 I guess, this is appropriate for a response from
12 DOE folks. Ardyth or anyone else who might be prepared to
13 comment on that? Go ahead?

14 MS. NEWBURY: First, one question. Dick, did you
15 collect temperature data?

16 DR. LUCKEY: Yes, we did collect some temperature data
17 of the samples. They were included with the chemistry
18 analysis. We didn't do any detailed temperature profiling or
19 anything like that in that borehole. So, I think what data--
20 there was some data collected. I recall that Joe Rousseau
21 made some presentations on what the data might have meant.
22 He filled it with a number of caveats, but I think that the
23 data is included with the water chemistry information and I
24 don't know whether Linda has that information in hand. But,
25 that's what the temperature data is.

1 MS. NEWBURY: If it's been reported, then we'd be more
2 than glad to whoever asks for it.

3 DR. LANGMUIR: Thank you, Claudia.

4 DR. LUCKEY: Well, we've talked about temperature data.
5 I've been dying to answer Pat's question a little more about
6 what we might do in the ESF. There's some temperature
7 information that we're planning in the radial borehole study
8 where we're going to be doing very detailed, precise
9 temperature measurements across the fault trying to look and
10 see if the fault is carrying water and carrying away heat in
11 the process. And, in that same sort of study, we're doing a
12 lot of crosshole testing in the alcoves of the ESF.
13 Naturally, we'd like to have a lot more alcoves and do a lot
14 more stuff and, until the second alcove is completed, we
15 won't be able to do that. But, that is some information that
16 is being collected in the ESF that relates directly to fast
17 pathways down a particular fault. Whether we've looked at
18 the right fault and in the right place, you know, I don't
19 know. But, at least, it will be a data point.

20 MS. LEHMAN: I just wanted to kind of finish up on the
21 temperature idea. I think that temperature data can be very
22 significant in both the saturated zone and the unsaturated
23 zone. And, it's been my experience that it's highly under-
24 utilized in this program. For example, talking about UZ-14,
25 if that perched water is hot, then we may have a better idea

1 of where it comes from. It could be coming from the west,
2 say, in the hotter zones at Solitario Canyon. If it's
3 colder, then we might think maybe it's coming across the
4 steep hydraulic gradient to the north. So, temperature data
5 can be extremely useful and I would like to see more of it
6 utilized in the program.

7 DR. LANGMUIR: Thank you.

8 MR. MIFFLIN: I'd like to follow up and make an
9 observation and maybe stimulate a comment or two. Back to
10 this idea of the relative merits of distribution of
11 characterization funds and the ESF versus a surface based
12 program. I think the viewpoint might also fall into camps of
13 expertise and experience. Geologists, I think, that have
14 that type of background don't get too excited about the need
15 to see really how fractures go and what a fault looks like
16 underground in a borehole, you know, a tunnel; and, whereas,
17 I think, engineers feel that that's very important
18 information. I don't know for sure why this is, but I think
19 that from a geologic perspective, the wide range of fracture
20 orientation and the heterogeneity of fractures, even though
21 you may have a dominance of columnar type fracturing and so
22 forth, is already known from lots of observations in field
23 settings.

24 And, the tunnel is only going to touch upon these
25 types of features, such as faults and various types of

1 fracture zones, in a very, very limited percentage as exist
2 in that repository area. Whereas, a surface based drilling
3 program that expended the same types of funds, maybe just one
4 year of those funds, would provide a much broader base of
5 databases from the perspective of the total vertical picture,
6 as well as the hydrogeochemical and the hydrological results
7 throughout the full section beyond the level of where the ESF
8 might go.

9 So, say, a million dollars of surface based testing
10 spread out over several years would certainly develop a whole
11 lot more data from the hydrological perspective, I think, in
12 addressing some of these questions that have been talked
13 about. Whereas, the ESF facility touches some of these
14 features at one horizon, and you have only a very limited
15 periphery around that ESF to deal with the questions that are
16 raised.

17 DR. LANGMUIR: Thank you, Marty.

18 Leon Reiter had a question or a comment.

19 DR. REITER: I have a question and I guess, since the
20 initial topic was looking at other places that have looked at
21 unsaturated flow and the concerns about fast paths, I ant to
22 take advantage of the fact that we have three people here who
23 sat on the Ward Valley Committee, Bridget, Scott, and Marty,
24 and ask them are there any lessons you think that's been
25 learned that could be applied specific or general to what's

1 happened to Yucca Mountain?

2 DR. TYLER: I can at least make one or two. One of the
3 things that we found that was deficient in the Ward Valley
4 work was the level of peer review during the process and the
5 level of input of peer review during the process. As a
6 result, a conceptual model was put forth and sent forward
7 with limited discussion or limited, if you will, devil's
8 advocate about how some of the data fit into that conceptual
9 model. And, as a result, when it came time--at least, this is
10 my opinion--when it came time for the actual license
11 application, the license application was deficient in that it
12 did not completely address the data sets that they had
13 available to them. I think had they had significant input
14 during the process, as this panel perhaps is doing for this
15 project, they would have gotten a lot further and would have
16 been much more successful.

17 DR. SCANLON: I guess one of my feelings after the
18 meetings were that sometimes you don't need to answer all the
19 questions before you go ahead. I mean, you answer the most
20 significant questions and you can continue doing studies
21 through operations of the facility. As our techniques evolve
22 and our ability to measure different parameters evolve, we
23 will want to use those in the unsaturated zone or saturated
24 zone or whatever. But, we shouldn't think that all site
25 characterization stops the minute they start building the

1 facility. So, monitoring and site characterization should
2 continue on.

3 MR. MIFFLIN: I think one of the lessons that would be
4 worthy to consider from, say, the characterization that was
5 done at Ward Valley was when there was a level of uncertainty
6 with respect to a database that was developed and that
7 uncertainty wasn't resolved either due to the fact that there
8 was very limited database or it was just no additional work
9 was done to try to constrain what the possible
10 interpretations were, it creates in some cases an unnecessary
11 level of uncertainty. In other words, certain things can be
12 resolved if you put a little more effort into it. And, that
13 almost is what my previous comment was about.

14 There's certain concepts or approaches that
15 sometimes don't necessarily yield the abundance of the types
16 of databases that are going to answer the questions. And, if
17 the Yucca Mountain program continues to pour most of the
18 monetary resources and the time resources, so to speak, into
19 areas that give perhaps important databases, but not the ones
20 that resolve the issues, then you come to the--you allow a
21 program to get to too high a level of uncertainty in certain
22 key issues. I think that's the history of this program, to
23 be honest, at this late point when the efforts have been
24 going on for 12 years or so--14 years almost, I guess, now on
25 some issues.

1 DR. TYLER: If I could just add one more point. I think
2 my bottom line is that if you have fast pathways, you better
3 darn well understand them fairly well before you go to
4 licensing. This is again my opinion, not the NRC's, I
5 suppose. And, if you don't have fast pathways, then your
6 database should be sufficient to prove within reasonable
7 assurances that you don't have fast pathways.

8 DR. DOMENICO: Correct me if I'm wrong, but I do believe
9 the low-level program does not require calculations of any
10 sort or certainly no complex modeling and the decisions are
11 based largely on geologic and hydrologic data as interpreted
12 by the hydrologists and geologists. Is that a fair
13 statement? Unlike this program.

14 DR. TYLER: If I recall correctly, the low-level Waste
15 Policy Act does have a--I believe, it's either a 500 year or
16 a 1,000 year containment requirement.

17 DR. SCANLON: They have a performance assessment--

18 DR. DOMENICO: All taken care of by putting the stuff in
19 cement, right?

20 DR. SCANLON: No.

21 DR. DOMENICO: No?

22 DR. SCANLON: They have performance assessment.

23 DR. DOMENICO: They do?

24 DR. SCANLON: Yeah, they do.

25 DR. NICHOLSON: I can answer the question. 10 CFR 61

1 deals with low-level waste. It does require that you have to
2 do a doses estimate. It's a 25-75-25 dose to the whole body
3 and individual organs. There is performance assessment. The
4 NRC staff has put out--well, we had a public workshop. We
5 discussed performance assessment. There's a draft position
6 on how to go about performance assessment. But, there really
7 is no true time consideration like there is in high-level
8 waste. There is time periods or horizons with regard to
9 certain aspects such as the waste package that will be
10 considered in the site itself. But, it is different than
11 high-level waste. I think high-level waste has a different
12 perspective than low-level waste does. So, it is
13 quantitative, but it has its own unique culture. We'll put
14 it that way.

15 DR. MONTAZER: All right. I'd like to make a comment in
16 response to Marty's comment. I agree with you as far as
17 being careful to allocate the funds such that you get the
18 maximum amount of information. There's a certain types of
19 information that I believe you cannot get without going
20 underground and doing underground testing, but that doesn't
21 necessarily mean that you have to have a Cadillac program
22 that costs so much. Now, there are a lot of other reasons
23 that DOE is doing the ramp the way they're doing it right
24 now. There are many, many other ways to go horizontally in
25 the Topopah Spring and collect the type of information we're

1 talking about at a lot less cost. And, I don't want to get
2 into that right now, but if I were going to do it and my
3 purpose was only to collect hydrologic data, I would do it
4 totally differently.

5 MS. SIMMONS: You said somewhat of what I was going to
6 say, but I wanted to add to that in that the NRC requires us
7 to conduct an in situ test related to how the mountain would
8 behave under repository conditions. That would be our in
9 situ heater tests and I know of no other way which we could
10 do that kind of a test to get information in three dimensions
11 and be able to do it on the kind of scale necessary. There
12 are issues of scaling and heterogeneities that I believe
13 would be very difficult to understand from just a vertical
14 borehole type of program.

15 So, indeed, the ESF serves many purposes and our
16 approach towards licensing has to be able to satisfy the
17 needs of many different kinds of tests and it's more than
18 just about the hydrologic program and hydrologic conditions
19 under ambient circumstances. So, that needs to be borne in
20 mind in terms of the total picture.

21 DR. LANGMUIR: I've also understood over the years that
22 most of the fast pathways, apart from potentially perched
23 ones and lateral ones, were very steeply dipping fault zones
24 which wouldn't be found except accidentally, as suggested by
25 Gregg in his setting, by more vertical holes. So, you're not

1 going to find them. You may miss the important ones with an
2 ESF, but you at least have a chance of finding some and
3 characterizing them by going across the formations.

4 MR. MIFFLIN: Can I respond to you?

5 DR. LANGMUIR: Yes, Marty wants to respond to me. I
6 shouldn't be defending DOE here, but go ahead, Marty?

7 MR. MIFFLIN: I think that that view is widely held, but
8 I would like to point out that through the surface based
9 program that the evidence of fast pathways has been
10 established by virtue of the hydrogeochemistry and the
11 isotope hydrology in the perched zones already, and that the
12 cuttings showing the chlorine-36, you don't have to have
13 liquid water to recognize some of these things in vertical
14 borehole sampling. And, that the real key questions are
15 going to be how extensive are these with respect to the
16 overall repository scale hydrology rather than some very
17 localized assessments. And, this problem with scale is going
18 to be a very difficult problem to resolve and/or apply local
19 field scales--mezzo field scale, I guess you'd call it--
20 findings, such as the heater test, to a slightly larger type
21 of field scale when you have a much heavier load and a much
22 larger load, say, a thermal load--from a heavy thermal load
23 scenario.

24 And, I'm with Parvis with respect to, you know, how
25 do you get that horizontal or lateral type testing. You

1 don't really need the Cadillac and I don't think you need the
2 Cadillac to make the heater tests either.

3 But, the point is I think surface based--and,
4 really thinking about it, you don't have to have all
5 boreholes vertical in surface based testing. There's 6,000
6 or 7,000 feet angles of boreholes demonstrated in some places
7 already and you've got a lot of options that are a lot less
8 costly.

9 DR. BOSSOUD: I'm sorry, I'm a bit noisy. But, first of
10 all, I thought that the object of this was to evaluate the
11 data on Yucca Mountain tomorrow, and I think that if you give
12 it a fair shot, your conclusion that the chlorine-36 data is
13 due to vertical fast path may be revisited. And, regardless
14 of whether you believe the different interpretations, it's
15 teaching us a very important lesson. We cannot jump to
16 conclusions with what we know about this data. It's very
17 complex and the mountain is very complex. Before we decide
18 that we can answer all these questions with vertical versus
19 horizontal, we ought to listen to tomorrow's talks, minimum,
20 I think.

21 The other thing that I'd like to address is that
22 Yucca Mountain is a geologic repository. It's not a
23 Mescalero Indian site. It's not an engineered barrier alone.
24 It's a multi-barrier system. When we talk of retardation,
25 we're not talking about water. Water is just the bus

1 carrying the passengers. We're talking about whether the
2 passengers get off and do they get off on time. In
3 particular, the most important barrier of this geologic
4 repository is the Calico Hills barrier which is specifically
5 retarding radionuclides which are the ones that are mentioned
6 in the CFR points, right; radionuclides accessible to the
7 environment.

8 This barrier has the capability of retarding the
9 radionuclides by several orders of magnitudes in terms of
10 years. And, before we confuse, once again, the flow
11 trajectory of the water with the retardation or the transport
12 of these radionuclides, we have to look at this barrier, in
13 particular, and we have to--if we are going to address fast
14 paths which, by the way, I despise the word because it's
15 putting a conclusion in front of what is actually there.
16 Yes, we have a mountain of fractures and faults and units
17 that are layered. In other words, we have a filter system on
18 the mountain scale. If this filter system behaves such that
19 it bypasses the multiple barrier system, then you can talk
20 maybe as a result that you have a fast path. We have not
21 demonstrated that these fast paths exist. I think it's
22 important that we demonstrate this, that we at least have a
23 conceptual model of how to approach them with respect to the
24 radionuclide barrier which, after all, is what is buying us
25 our time. And, yes, you can have the ESF, for example, or

1 boreholes and see fractures. You may even see water dripping
2 in those fractures. But, the question of flux is important
3 in this case and, furthermore, the question of does this
4 continue through our barrier? The barrier is the Calico
5 Hills. That's below the ESF.

6 If we really wanted to know if we have a fast path
7 with respect to radionuclides which is what we should be
8 interested in, we should be going down and have a tunnel or a
9 systems study in the Calico Hills. The problem is we have to
10 ask ourselves do we have the money? Okay. But, if we're
11 really interested in the barrier system of the mountain,
12 multi-barrier system, we have to go to Calico Hills. Now,
13 this has been decided one way or the other, I think, but I
14 think we ought to be honest with ourselves and talk about the
15 real barrier, the one for radionuclides.

16 Thank you.

17 DR. LANGMUIR: Thank you.

18 Tom?

19 DR. NICHOLSON: From a research perspective, especially
20 looking at Apache Leap, I can't help but think that when you
21 talk about barrier that's the same type of viewpoint in the
22 opposite sense when people use fast pathway. We don't have
23 the luxury of actually saying there are barriers or there
24 aren't barriers, there are fast pathways, there aren't. What
25 we try to do is understand the mechanisms on a variety of

1 scales. For instance, the discussion you had earlier about
2 fracture coatings. That may be a very local phenomena. It
3 may not really make a big difference when you scale it up to
4 a larger effective continuum parameter value.

5 So, your comment about there aren't fast pathways
6 unless you're biased towards them, but yet you're biased
7 towards barriers. One of the things that we were surprised
8 at Apache Leap tuff is we have a fairly extensive perched
9 system and the assumption is it isn't there unless there is a
10 barrier, a so-called perching unit, a low permeability zone.
11 But, yet, it wasn't identifiable from a conventional
12 standpoint of seeing contrast and lithologies. So, now,
13 we're going back and asking the question what caused the
14 perching to occur? It isn't obvious. And then, going into a
15 variety of details.

16 So, to me, it's a perception problem to some
17 extent. We don't talk about barriers. We don't talk about
18 fast pathways. With regard to bias, we try to understand the
19 whole system and it may involve using, as they first did at
20 the Apache Leap tuff, incline boreholes so we can look at the
21 fractures. It may involve going underground in a haulage
22 tunnel so we can integrate over 130 meter scale. So, we
23 tried to keep an open mind to say what are the mechanisms and
24 parameter values that help us understand the testing and
25 conceptual models.

1 DR. BOSSOUD: Excuse me, maybe I didn't make myself
2 clear. Barrier is a barrier for radionuclides. It's not
3 necessarily a barrier for flow. As a matter of fact,
4 tomorrow, you will see that the Calico Hills unit is not
5 really a barrier for flow. It's a barrier for radionuclides
6 in that it contains sorbing minerals like clinoptilolite that
7 actually sorb the radionuclides. It does not stop the water
8 from going through; it simply filters it. It filters it
9 crucially.

10 The other thing I'd like to keep in mind today is
11 when we talked about the evidence for fast paths, we were
12 talking about subsurface environments that extend to 40
13 meters, maybe 70. We're talking about a mountain that's 400
14 to 700 meters to the water table. What we saw today in terms
15 of fracture networks are subsurface fracture networks that
16 are very important to the evapotranspiration infiltration
17 parameters that we need to know about in terms of flux over
18 time. But, the mountain itself is not that environment
19 either.

20 DR. DOMENICO: I think the term "fast pathway" is
21 appropriate here because this project, of course, is burdened
22 with the groundwater travel time consideration. So, in that
23 particular case, no other project has something like that.
24 So, in that case, when you're given a time, you've got to
25 talk about pathways that are fast. So, I think in that sense

1 the term "pathway" is probably appropriate for the Yucca
2 Mountain Project. Otherwise, I agree we would not be talking
3 about that. We should be talking about fluxes and
4 distribution of fluxes.

5 DR. FLINT: Yeah, I just wanted to talk a little bit
6 about what Pat said and put some of this in perspective about
7 the ESF, about surface based testing, about identifying fast
8 pathways, and how we're going to do some of this work. I
9 think we all know the reality of the site and the system that
10 we're working in. If we didn't have the ESF running, we
11 wouldn't do any more surface based testing because we'd
12 pretty much stop working altogether. Congress controls which
13 way we go. So, the ESF is essential to do surface based
14 testing. There are lots of advantages in being underground;
15 there are disadvantages and these two systems have to work
16 together, surface based testing, and not just drilling holes.

17 If you go down into the ESF and you go through what
18 I think is one of the most important barriers to stopping a
19 fast pathway which may be a fault, you go into the PTn maybe
20 500 feet. You walk through the PTn and you're done and
21 that's your only chance and where did you happen to walk
22 through the PTn? You walked through it where above you is
23 probably 30 meters of alluvium. So, you picked a spot to go
24 through one of the most important barriers at a location
25 where it's the least effective as a barrier because you have

1 something else that's affecting you. It's the consequence of
2 having one shot at going through the PTn and you're
3 controlled by an engineering design that says you have to
4 start here to get through this location. And, I'm sure
5 hundreds of people/thousands of people will go in and look at
6 the PTn at this 500 feet.

7 If you go over to the other side of Solitario
8 Canyon, there's two kilometers, but I'm not sure how many
9 people here have ever gone over to the other side of
10 Solitario Canyon to look at the PTn. Many of us in the
11 program--not many of us, a few of us. A few of us have taken
12 advantage of that. There's a paper we're putting out that
13 deals with this 2 kilometers of PTn. I think we have a lot
14 of benefits from looking at the surface of Yucca Mountain,
15 seeing the Calico Hills exposure, the Topopah, the Tiva, the
16 PTn. We need to use that and that gives us a lot of insight.

17 The one advantage we have underground is that you
18 can go down and imagine a borehole going through that and
19 what you would interpret from that one location. And,
20 really, I think the greatest advantage is what you learn by
21 just visualizing standing in there and seeing a nice clean
22 surface to say, boy, if I'd have been over here, I'd have had
23 a real different concept. And, that gives us a lot of
24 advantages and we can pick the points and what we think about
25 the site. And, it tells us a lot about the history of he

1 site. And, we have to be careful about having one ESF or
2 having one borehole. I mean, I looked at the data that Gregg
3 presented and I don't know if all of you noticed, but he had
4 a new theory for every data point and how it all worked
5 together. And, I want him to go drill one more hole and see
6 if he gets exactly the same theory at every one of those
7 locations.

8 We're not going to get everything out of the ESF.
9 We're not going to get everything out of surface based
10 testing. We have to do both. And, sure, we have different
11 views on what's going to work or not work, but some areas--I
12 mean, the PTn where we got to it is under a zone that
13 probably won't see anything. And, the Tiva Canyon, we missed
14 because we had 100 foot of rock and by the time we got out to
15 where it was shallow, we had a whole bunch of alluvium. So,
16 it's different purposes, different objectives, but it's kind
17 of nice to go under there and stand and look at things. I
18 think it's worthwhile in that aspect. And, the reality is it
19 doesn't matter what our debate is anymore about it. It's
20 there and, if it doesn't keep going, we don't keep going. We
21 have an obligation to do the best we can and take advantage
22 of the fact that it's there and go do something and get some
23 information. As far as money or time, Pat, I've been here
24 eight and a half years now. I've had enough time.

25 DR. LANGMUIR: Thanks, Alan.

1 With that, I'm going to close this for the day and
2 thank all speakers and all involved for putting together a
3 first rate program.

4 See you tomorrow at 8:00 o'clock.

5 (Whereupon, at 6:15 p.m., the meeting was recessed, to
6 reconvene at 8:00 a.m. on Tuesday, June 27, 1995.)

7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1

2

3