

UNITED STATES
NUCLEAR WASTE TECHNICAL REVIEW BOARD

Meeting of the Panel on Hydrogeology & Geochemistry
Fracture Flow and Transport in Arid Regions

Holiday Inn Crown Plaza
San Francisco, California

June 27, 1995

BOARD MEMBERS PRESENT

Dr. John E. Cantlon, Chairman, NWTRB
Dr. Donald Langmuir, Session Chair
Dr. Edward J. Cording

CONSULTANTS

Dr. Patrick A. Domenico
Dr. Dennis L. Price
Dr. Richard Grundy

NWTRB SENIOR PROFESSIONAL STAFF

Dr. Victor Palciauskas
Dr. Carl Di Bella
Dr. Daniel Fehringer
Russell McFarland
Dr. Daniel Metlay
Dr. Leon Reiter

NWTRB STAFF

Linda Hiatt, Management Assistant
Davonya Barnes, Staff Assistant

I N D E XCRITICAL DATA NEEDS FOR MODELING FLOW AND TRANSPORT
IN FRACTURED UNSATURATED ROCKS

	<u>Page No.</u>
Reconvene and session introduction	
Patrick Domenico.	177
Isotopic dating of ground water at Yucca Mountain	
June Fabryka-Martin	178
Los Alamos National Laboratory (LANL)	
* What isotopic age data are telling us about transport at Yucca Mountain	
* What we can expect to learn in the next few years	
Al Yang, USGS	207
Modeling of "fast" pathways: conceptual models and data needs	
Andy Wolfsberg, LANL	212
Characteristics of flow and transport in highly heterogeneous media: a theoretical study	
Yvonne Tsang.	233
Lawrence Berkeley Laboratory	
* Channeling of flow - existence of "fast" pathways	
* Spatial variability of breakthrough curves	
Consequences of "fast" pathways for Yucca Mountain	
Ralston Barnard	257
Sandia National Laboratories	
* Conceptual/numerical modeling of "fast" pathways flow and transport	
Consequences of "fast" pathways for Yucca Mountain	
Robert Andrews, INTERA.	271
Management & Operating Contractor	
* Impact of "fast" pathways on total system performance	
Incorporating Chlorine-36 in alternative performance assessment modeling	
Dwayne Chesnut	288
What do fast pathways mean for Yucca Mountain?	
Chin-Fu Tsang	306

I N D E X (Continued)

	<u>Page No.</u>
Round-table discussion of the day's topics.	312
* How can the "fast" pathways be characterized in a practical manner and in a reasonable amount of time?	
* What are the crucial data needs?	
* Are present conceptual models of flow and transport satisfactory?	
* What do "fast" pathways imply about repository performance?	
Closing remarks and adjournment	
Donald Langmuir, NWTRB.	343

1 P R O C E E D I N G S

2 DR. DOMENICO: Can we take our seats, please?

3 Yesterday's discussion dealt largely with some case
4 histories and some information on waste isolation in arid
5 regions. Today's discussion, we'll talk about what will be
6 involved with the critical data needs for modeling flow and
7 transport in fractured unsaturated rocks, so if we're looking
8 at critical data needs, we obviously have to turn to the
9 laboratories; Los Alamos, Lawrence Berkeley, and Sandia, so
10 that's where our speakers will be coming from in the first
11 part of the session.

12 And then, after a break, we will then get involved
13 in the question, I think the most important question is:
14 What are the consequences of all of this? What does all of
15 this mean in terms of performance assessment? And, from
16 that, we'll look at that probably from the modeling
17 perspective.

18 And, as usual, we will have a round-table
19 discussion when this is all over. I'd like to encourage all
20 the speakers to sort of stick to the time frame that we have
21 set up here so that everyone gets a chance, and, of course,
22 at the end of the session, we will also open this up for

1 public comment or for anyone who is urging to say something
2 of some consequence.

3 So, our first speaker for this morning is June
4 Fabryka-Martin, who's going to talk to us a little bit on
5 isotope dating of ground water at Yucca Mountain.

6 DR. FABRYKA-MARTIN: I think my introduction was done
7 very well by Dr. Domenico, so I'll just pass right on
8 through.

9 What I'm going to be talking about today are the
10 radiometric studies being done to try to come up with
11 estimates of ground-water travel time at Yucca Mountain, and
12 so, the outline of my talk will be, first, I'll briefly go
13 over what the objectives of the radiometric studies, which
14 include tritium, Carbon-14, and Chlorine-36.

15 Secondly, I'll review the sample collection
16 protocol very quickly, and then most of the talk is going to
17 be presenting data, and I'll be presenting, also, the
18 chloride concentrations of pore waters. Even though that's
19 not an isotopic study, these are very valuable data, very
20 simple-minded, but I think, nonetheless, justified technique
21 for getting at least a qualitative indicator of infiltration
22 rates and infiltration paths.

23 Mostly, I'll focus on the isotopic results that Al
24 Yang and I have measured for borehole samples. First, I'll
25 present the results for the shallow boreholes, the neutron

1 boreholes, the upper 100 meters, and then, secondly, two deep
2 profiles, UZ-16 and UZ-14.

3 And then, what I'm going to show is that--this may
4 be somewhat disappointing, but the data are not unambiguous
5 at all, not in the least. Maybe you already knew that, but
6 what I'll present is two alternative interpretations of the
7 data that are 180 degrees apart. I don't think we can choose
8 between them at this point in time with the data that we
9 have.

10 Then, finally, there'll be some conclusions. There
11 are several strong conclusions that one can make from the
12 data, and then I'll remind you what those are at the end.

13 The objectives of the isotopic studies are similar
14 to that of Alan Flint's, and I sort of view this, to some
15 extent, as providing corroborative evidence for the
16 conclusions he presented yesterday.

17 One is to estimate net infiltration. For example,
18 in the case of Chlorine-36, one can estimate net infiltration
19 rates based on the distribution of bomb pulse, how far down
20 bomb pulse Chlorine-36 has moved.

21 Secondly, more and more strong, a better
22 application of data is to evaluate infiltration mechanisms to
23 identify where fracture flow may be occurring as opposed to
24 matrix flow.

25 Thirdly, estimate spatial variability in ground-

1 water travel times, and, here, the radiometric techniques
2 start to show their real potential, because there's really no
3 other way of getting at such data or such estimates; and,
4 finally, to identify evidence for fast paths in the
5 unsaturated zone. And, here, I want to remind people that
6 the fast paths that are identified by looking, for example,
7 for bomb pulse nuclides are not the same as the fast paths
8 that one talks about for the repository. All we can identify
9 is a fast path from the surface to the point of measurement.

10 That really may or may not have anything to do with
11 the fast path from the repository disturbed zone to the
12 accessible environment, and that's an important point to
13 remember because there may be other pathways by which the
14 bomb pulse nuclide can get to the point of measurement that
15 does not pass through the repository block at all.

16 The geochemical tools that are available to us are
17 being measured in the program are the radiometric tracers of
18 ground-water travel time--and here, I've listed them again.
19 They all have drastically different half-lives, and, as a
20 result the applicable dating range is quite different. All
21 three are bomb pulse nuclides, for one thing, and so that
22 means that they are sensitive for showing the presence of
23 ground water that's less than forty years old, but the timing
24 of the signals are very different, and that may be an
25 important point in doing the interpretation.

1 Secondly, Carbon-14 has a half life of 5700 years,
2 so, theoretically, under ideal conditions, its applicable
3 dating range would be about from 500 years to 40,000 years.
4 Chlorine-36, with a half life of 300,000 years has a
5 theoretical dating range, if anything went perfectly, which
6 it never does, of, say, 50,000 to maybe up to a million
7 years.

8 Now, the other geochemical tools that I won't be
9 talking about so much, there's a variety of other isotopic
10 tracers that are being collected within the project;
11 Strontium and uranium isotopes, and the stable isotopes of
12 water, as well; pore water chloride concentrations, which I
13 will be touching on briefly; and, finally, a whole slew of
14 other pore water geochemical characteristics are being
15 collected under Al Yang's program.

16 Now, who are the users of these data? There's two
17 general groups; the hydrologic flow modelers, for one. They
18 use them to validate, or they intend to use the data to
19 validate or calibrate their models, especially the conceptual
20 models; evaluate boundary conditions; and to provide
21 corroborative evidence for the calculations; and then the
22 solute transport modelers use the data as well, primarily for
23 the corroborative information.

24 Now, the boreholes for which we have isotopic data
25 I show in here. This is somewhat out of date. It's a slide

1 I got from Ed Kwicklis, which no one has updated yet, but
2 it'll give you at least a general idea that the boreholes for
3 which we have sample results surround the repository block.
4 There's seven holes for which we have Chlorine-36 data. Six
5 are shown here, and one is N-11, way up in the north part,
6 off the map. The number of holes that we have, I guess, five
7 holes for tritium within that, and, oh, I don't know, four or
8 five holes for Carbon-14. There's only two holes for which
9 we have all three isotopes, and that's UZ-16 and UZ-14, which
10 I'll be showing later on.

11 Now, the other thing I wanted to say here is that
12 all the holes are dry-drilled, for which we have samples.
13 The sequence is they core the holes. That's what provides
14 the sample for Al Yang to do the squeezing and extraction of
15 the fluids for his analysis. I get the corresponding ream
16 bit cuttings, so we're getting samples from the identical
17 intervals, but they're still somewhat different in the size
18 and the point at which they're collected.

19 Now I'll talk first about the Chloride pore water
20 concentrations. The Chloride pore water concentrations are
21 an indication of the amount of evapotranspiration the water
22 has undergone before it becomes infiltration, and this simple
23 schematic is to show that idea.

24 When the rain water comes down, it's very dilute.
25 It has extremely low Chloride concentration, say, one

1 milligram per liter or less, and then, as the water passes
2 down through the root zone, the concentration increases,
3 until finally, when it passes beneath the root zone, then,
4 theoretically, if it's just one-dimensional downward piston
5 flow, the concentration will stay constant, and Bridget, I
6 think, mentioned yesterday that more commonly, one actually
7 sees a bulge and it starts to decrease, which might be due to
8 climatic variations in the past affecting the rate of
9 evapotranspiration, or possibly, instead of piston flow,
10 we're having some fast path leading from the macro porous
11 flow.

12 Now, infiltration is the inverse of that, is
13 inversely proportional to that, so when the rain water first
14 falls on the surface, it's like an instantaneous infiltration
15 rate, but then, as water is extracted from the root zone,
16 effective infiltration rate drops until once it gets below
17 the root zone. Then, by definition, that is infiltration
18 rate.

19 And so, what one does then, if the assumptions are
20 met about knowing a constant Chloride deposition rate, and so
21 forth, is by comparing the pore water, one can calculate from
22 the pore water what the effective or apparent flux is, and
23 here we have done that with a number of holes.

24 I've broken it out by different units here so that
25 in the alluvium, we have three holes for which we have pore

1 water concentrations, and they range from 200 up to almost
2 6,000 milligrams per liter. The corresponding apparent flux
3 that one would calculate from that is far less than one
4 millimeter per year, and this is backing what Alan Flint was
5 saying yesterday about thick alluvium being an effective
6 barrier to infiltration, but one gets a completely different
7 view when you look at the pore water chemistry of the non-
8 welded units, the PTn, for example.

9 Now, these are Al Yang's numbers, and the
10 concentrations here range from 35 to 94 mg/L, much more
11 dilute than what one sees in the alluvium, and the
12 corresponding apparent fluxes range from one to three mm/yr,
13 so, apparently, the water that's getting down into the PTn
14 does not get there by way of the alluvium, but by some other
15 pathway.

16 It's similar for the Calico Hills non-welded. The
17 average pore water concentrations are fairly dilute compared
18 to what it is in the alluvium, again, suggesting fairly fast
19 apparent fluxes.

20 Now, the next point I want you to pull out of here
21 is that these apparent fluxes, in some cases, are greater
22 than the saturated hydraulic conductivity of the overlying
23 matrix. For example, the Calico Hills non-welded is
24 overlying by Topopah Spring welded. The saturated hydraulic
25 conductivity at that unit is about 2 mm/yr, so here we have

1 apparent fluxes of three to six mm/yr, so this is, again,
2 evidence that the pathway by which the water reaches these
3 units is not by matrix flow through the overlying welded
4 unit, but, rather, by some other faster pathway.

5 Next, I'm going to turn my attention to the
6 Chlorine-36 profiles. These are all from the upper 100
7 meters of the mountain, and what I've tried to do is contrast
8 these two slides. One, these four holes are all from
9 channels and terraces where the alluvial cover is fairly
10 thick, ranging from, oh, let's say five to ten meters or so
11 in thickness. The next one, which I want you to contrast
12 this with, is where the alluvial cover is thin, or absent
13 altogether.

14 Now, the important thing to look at for these data
15 is all we're looking is where is the distribution of bomb
16 pulse Chlorine-36 at this time? So, what we want to do is
17 compare where the measured Chlorine-36 here, and that's
18 plotted here in units of $\times 10^{-12}$, where that measured
19 Chlorine-36 is relative to the present day meteoric
20 background, which is a ratio of $.5 \times 10^{-12}$.

21 And, what should jump out at you is that, with one
22 possible exception, there's early bomb pulse in the alluvial
23 cover, in the alluvium. There's no evidence for bomb pulse
24 penetration down below the Tiva Canyon, well into the
25 Paintbrush non-welded from these particular holes, and so

1 here, again, is yet another indication that the alluvial
2 cover acts as a barrier to fast downward movement of the
3 water.

4 But you get a dramatically different perspective
5 when you look at the wells where the alluvial cover is
6 absent. Now, again, I've had to shift the scale. Before,
7 the full scale went from zero to 1.5. Now, to make sure I
8 could fit all these points on, I've had to expand the scale
9 to zero to 5, and even up to zero to 30, in this particular
10 case.

11 The common feature here, again, is the meteoric
12 background, which is $.5 \times 10^{-12}$. Now, when you look and see
13 what data points are above present day meteoric background,
14 every single point is, so, apparently, we see bomb pulse
15 penetration, definitely in these two holes, getting through
16 the Tiva Canyon, well into the PTn.

17 Before I move on to the conclusions here, the
18 ratios are actually so high, there is a possibility of
19 contamination of the sample at the time of collection, which,
20 they may have used a contaminated piece of equipment. I'm
21 checking that out now, and we should have the results within
22 two months, because if this were true, it would only be the
23 cuttings that were contaminated. I've got the corresponding
24 core. We've processed those samples, and we should have
25 results by end of August to see whether or not these ratios

1 are still so high.

2 But, regardless of that, these data are fine, and I
3 think what I want you to get from these two slides is that
4 the bomb pulse Chlorine-36 penetrates into the PTn under the
5 side slopes in the ridge top locations, where the alluvial
6 cover is thin or absent, but not where the alluvium is fairly
7 thick. So, the conclusion is that initiation of fracture
8 flow is most likely where the alluvial cover is thin or
9 absent.

10 Now, what happens, though, once it reaches the PTn?
11 I mean, these results so far shouldn't have surprised
12 anybody. I'm thinking of not even analyzing any more samples
13 in the upper part of the profile, because I think that's
14 fairly conclusive, but what happens deeper?

15 Here I show the profiles. Actually, this is an
16 historic occasion. This is the first time that tritium and
17 C-14 and Chlorine-36 have all been plotted on the same graph.
18 I really like this. Anyway, let's talk through this now.

19 These are the profiles of tritium, shown in the
20 black squares; Carbon-14 for the aqueous phase, shown in the
21 red and the gas phase shown in the blue; and, over here,
22 Chlorine-36, the chloride ratios. This is a function of
23 depth from zero down to the water table, which is slightly
24 less than 500 meters.

25 The tritium first. Fortunately, Al Yang's in the

1 audience, I think. Al, are you here?

2 DR. YANG: Yes.

3 DR. FABRYKA-MARTIN: Oh, okay. Good. So, correct me if
4 I'm wrong.

5 When we look at the tritium signal, what we want to
6 do, basically, is look to see if it's above or below about 10
7 to 20 tritium units; right? It's only when it's above 10 to
8 20 tritium units that it's unambiguous indication of bomb
9 pulse. Am I stating that accurately? Okay.

10 And so, as a result, when you look at this profile,
11 you see most of them are at or below that threshold, with a
12 couple exceptions. No surprise up in the PTn, possible
13 evidence for bomb pulse penetration of tritium. I'm not sure
14 what one would say about this particular point. I think it's
15 about 30 tritium units, so that might suggest bomb pulse into
16 the TSw; and then, finally, two peaks down here, one
17 extending up to about 105 tritium units, so there's some
18 suggestion that there may be bomb pulse penetration of
19 tritium down to this depth.

20 Carbon-14, one gets sort of a different picture.
21 It's about a thousand-year Carbon-14 from the aqueous phase
22 up in the PTn, and then zero to 5,000 years travel time--
23 these are uncorrected ages--down in the Calico Hills non-
24 welded; and, finally, the gas samples, about the same, one to
25 3,000 years up in the upper part of the profile, 11,000 years

1 down in the lower part.

2 This, I don't think is coincidence, but the ground
3 water at this location is probably on the same order of about
4 11,000 years. Is that right, Al?

5 DR. YANG: That's above the ground water.

6 DR. FABRYKA-MARTIN: Right. This is above the ground
7 water table, but I believe the ground water itself is about
8 the same activity, and I think that's an important point that
9 I'll come back to.

10 Now, let's look at Chlorine-36. There should be
11 three things you should pull from the Chlorine-36 profile.
12 One, you've seen in the upper part of the profile before, a
13 bomb pulse in the alluvium, no question about that. Then,
14 apparently, one would estimate older ages through TSw, but
15 I'll come back to that. That may not be a safe conclusion.
16 Apparently, younger ages in the elevated signal in the Calico
17 Hills non-welded, and then older ages again in the Prow Pass
18 welded formation.

19 One thing I want to say right away, though, this
20 may not be bomb pulse. A lot of people are saying it is bomb
21 pulse. It's true that it's elevated above present-day
22 background, but that's a totally different thing from saying
23 bomb pulse, because there's another explanation, too, that
24 can't be ruled out, and that's that that ratio, that initial
25 meteoric ratio, may have changed over time, and there's two

1 lines of data or two sets of data that support that, as well
2 as some theoretical arguments.

3 Here is one set of data. These are packrat midden
4 samples from Pyramid Lake, around Reno, Nevada, and they were
5 dated by Carbon-14, and then the Chlorine-36 to chloride
6 ratio was measured. This is from a master's thesis that
7 should be done this month, actually, by Mitch Plummer down at
8 New Mexico Tech.

9 And what you can see here is that the ratio for the
10 past, oh, 10,000 years is about half to maybe even a third of
11 what it was, say, 15 to 35,000 years ago, so there's evidence
12 that that initial meteoric ratio may have changed even over
13 the--well, may be changing over time, and that could happen
14 from one of two ways, at least one of two ways.

15 One is if the Chlorine-36 production rate in the
16 atmosphere has been changing; for example, due to geometric
17 field strength variations. Evidence for that, actually, is
18 also beryllium profiles in ice core shows that that's the
19 case, but it also may change if the chloride deposition rate
20 has changed; for example, due to storm tracks coming along
21 different pathways, or other mechanisms.

22 Mitch is continuing this work for me this summer,
23 this time using samples that have been archived by Desert
24 Research Institute that were collected in the vicinity of
25 Yucca Mountain, and his first set of samples is going to be

1 two suites, one clustered around, say, zero to 1,000 years
2 old, another clustered around 30,000 years so we'll have two
3 populations and we can see whether or not the differences are
4 significant.

5 There is a second data set that supports the
6 variation as well, and that is Chlorine-36 profiles from deep
7 alluvium at Area 5, Frenchman Flat, and they, just similar to
8 these data, they also show a maximum ratio. Scott, what did
9 you say, it was like 750 was the maximum ratio; is that
10 right?

11 DR. TYLER: About 800.

12 DR. FABRYKA-MARTIN: About 800, and here the maximum
13 ratio I saw is, I think, 675, something like that.

14 Now, the other thing that I want to point out about
15 that profile--and here I show it again, the Chlorine-36
16 profile--is that when one looks at these points, knowing that
17 the half life is 300,000 years, the first thing that will
18 occur to people is, "Well, geez, this water travel time must
19 be extremely old. I mean, this suggests travel times of, oh,
20 400,000, 500,000 years or more." That would not be a correct
21 statement, because when these samples are collected, as you
22 can imagine, as the reaming bit goes down there, it's
23 breaking open a rock fluid inclusion and releasing dead
24 chloride that dilutes the signal, and it gives you a falsely
25 old age.

1 The way I'm trying to adjust for that is by looking
2 at the bromide/chloride ratio, and the idea is that the
3 bromide/chloride ratio of the fluid inclusions is
4 significantly and predictably different than that of the
5 meteoric halides that we're trying to use for estimating
6 travel times, and here I've plotted our measured
7 bromide/chloride profile for this hole, and what I've shown
8 here is my best guess at the present time of what that end
9 member is for the rock bromide/chloride, and the meteoric
10 bromide/chloride.

11 What you can see is that it suggests that the
12 samples from the non-welded units probably don't need much of
13 a correction for this effect, but the correction from the
14 welded units could be fairly massive.

15 Now, normally what you'd expect me to do is next
16 throw a plot on there that shows you what the corrected ages
17 are. I'm not prepared to do that as yet because there's a
18 lot of uncertainty about what that meteoric bromide/chloride
19 ratio is. It appears to vary depending on how long the
20 halides hang up in the root zone, and so what one would
21 estimate this line to be for a fast path, where it doesn't
22 hang up, and it passes through the alluvium very quickly and
23 doesn't hang up in the root zone is dramatically different
24 than what one would get if one looked at halides that have
25 come down slowly through the alluvium.

1 You can see that right away by seeing all the
2 alluvial samples cluster around a ratio of about 5×10^{-3} , but
3 you can see if I assumed that was my meteoric ratio, then a
4 lot of these samples fall in the so-called forbidden zone,
5 where they don't make any sense, but this ratio is about the
6 average that applies to the surface soil sampling I've done
7 in the area.

8 Next is a profile for UZ-14, where we see some
9 similar features; first, looking at tritium. One would say
10 that based on that guideline of 10 to 20 in tritium units as
11 being the threshold for unambiguous bomb pulse, that there's
12 no evidence for bomb pulse tritium anywhere below the PTn;
13 that those are all within the noise factor.

14 Carbon-14 is somewhat similar to the previous case,
15 where there's really no difference between these two
16 populations of samples from the PTn and from the Calico Hills
17 non-welded. They both suggest ages of no older than 3,000,
18 and then gas, I think, is indistinguishable from the aqueous
19 phase as well.

20 Chlorine-36, also, one sees no indication for bomb
21 pulse Chlorine-36 in the ream bit cuttings, except within the
22 alluvium, or no evidence in the cuttings. Perched water is
23 another case. Here, the Chlorine-36 signal, the hole was
24 baled several times, and then pumped several times, and then
25 baled again, and with one exception, it pretty much

1 monotonically increased over time, and the last few samples
2 were all here, which happens to be the same ratio, same peak
3 ratio as what we saw on the Calico Hills non-welded for the
4 UZ-16 profile. I don't know if that's coincidence or not.

5 Well, what can we say about these data? I had
6 suggested earlier that there are two dramatically different
7 interpretations, and here they are: This Interpretation No.
8 1, I'll call the face value interpretation. You look at
9 these data and immediately you say, "Well, okay, no question.
10 Fracture flow is transmitting bomb pulse nuclides below the
11 PTn under some conditions. There's young water, less than,
12 say, 10,000 years throughout the unsaturated zone, based on
13 the Carbon-14 data, and the Calico Hills unit contains a
14 significant component of bomb pulse, based on the elevated
15 tritium, the young C-14, the elevated Chlorine-36."

16 The arguments against that are not impossible ones,
17 they just seem unlikely to some people. One is it seems that
18 it would be unlikely to have a continuous pathway from the
19 surface extending all the way down to the Calico Hills non-
20 welded unit, because the PTn itself has a fairly low fracture
21 density, as does the Calico Hills unit.

22 Secondly, it would require precipitation capable of
23 initiating fracture flow during those peak years for the
24 global fallout of tritium. However, as Alan Flint alluded to
25 yesterday, those years were unusual, were drier than average,

1 so it's not impossible, but it makes it difficult to occur.

2 And, finally, most importantly, it implies that the
3 interaction between the fracture and matrix fluids is
4 negligible; that there is no matrix imbibition to dilute the
5 signal down and retard it, and this is a critical solute
6 transport issue, even more so than a ground-water travel time
7 issue.

8 Now, I think there is an alternative view, although
9 it, itself, has problems, and at this point, Al Yang asked me
10 to say that these are all my own thoughts, and he doesn't
11 necessarily agree with them, as he will make clear. Is that
12 okay, Al? Okay.

13 So, Interpretation No. 2: That is there's no
14 question that there's bomb pulse water reaching the PTn in
15 some locations, but it makes sense that the PTn would be a
16 barrier to any additional downward fracture flow. We think,
17 based on the Chlorine-36, that the water in the TSw unit may
18 well be greater than 50,000, maybe even hundreds of thousands
19 of years. That's still a possibility, and it is a second
20 interpretation.

21 Now, here's another important point where it
22 differs from the previous interpretation, that we expect that
23 there'd be a higher vapor flux through the fractures that
24 would be driven by temperature and pressure variations in the
25 unsaturated zone. In contrast, Interpretation 1 assumes that

1 gas flow is only by diffusive flux only, no advective flux.

2 Then, also, water in the Calico Hills unit is
3 younger than that in the overlying Topopah Spring, but it
4 doesn't contain any bomb pulse. Instead, the elevated
5 radionuclide concentrations are due to a higher meteoric
6 Chlorine-36 to Chloride value in the past; and, secondly,
7 isotopic exchange of the pore water CO_2 with CO_2 in the gas
8 phase.

9 And finally, C-14 in the gas and the liquid phases
10 above the water table are maintained in equilibrium with C-14
11 in the saturated zone. Now, this interpretation also has its
12 problems, and if I don't say it, Al will, so the arguments in
13 favor of it is it accounts for the elevated C-14 and
14 Chlorine-36 in the Calico Hills. It's consistent with our
15 expectations about the gas/liquid isotopic exchange for C-14.
16 It doesn't require a continuous fracture pathway extending
17 from the surface down to the Calico Hills unit, and it's
18 qualitatively consistent with predictions of flow models, as
19 Andy will show in his talk.

20 The arguments against it are pretty strong, but,
21 one, it doesn't account for the two high tritium values in
22 the Calico Hills non-welded; and, also, Al asked I add this:
23 That there's no strong field evidence supporting that
24 isotopic equilibrium does exist for the carbon isotopes in
25 the gas and liquid phases in the unsaturated zone, and this

1 is sort of interesting, because Al and I look at the same
2 data and come to different conclusions.

3 Now, let's see the conclusions. I was going to
4 slip one more overhead in there, by popular demand, after
5 Alan Flint's statement yesterday.

6 Okay, conclusions. I mean, despite the fact that
7 the interpretations are dramatically different, there are
8 some things one can take from the data, even at this point.
9 One is that the infiltration fluxes through the thick
10 alluvium soil cover are low, and that's based on the high
11 chloride pore water concentrations, the limited depth through
12 the bomb pulse Chlorine-36 has penetrated, neutron logging of
13 moisture, changes in moisture content.

14 Secondly, there's no question that fracture flow
15 into the PTn, through the Tiva Canyon welded into the PTn
16 does occur under some conditions, getting both bomb pulse
17 Chlorine-36 and tritium from other holes that you haven't
18 seen occurs in the PTn, low chloride concentrations in the
19 pore waters. The bromide/chloride ratios themselves act as a
20 tracer to infiltration processes, neutron logging, and field
21 observations.

22 Thirdly, there does appear to be a fast flow path
23 into the Calico Hills unit at UZ-16, at least, but whether or
24 not it's fracture flow through the Topopah Spring welded, or
25 lateral flow from a location with a higher recharge rate is

1 an open issue, and Andy will address this more in his talk.
2 The evidence for the fast flow path are the bomb pulse
3 tritium, elevated Chlorine-36, very young C-14 ages, and low
4 chloride concentrations in the pore water.

5 Thirdly, there's an apparent radiometric age
6 reversal when one looks at the Chlorine-36 data for UZ-16,
7 where you have apparently younger water in the non-welded
8 units overlying older water in the welded units. Did I get
9 that backwards? No, this is right; younger water in non-
10 welded units underlying older water in the welded units, so
11 the water in the PTn appears younger than that at Tiva
12 Canyon. The water in the Calico Hills appears younger than
13 that in the Topopah Spring. Whether or not that still holds
14 up when the age correction method gets worked out is still an
15 open question.

16 And, finally, in case no one picked up on this
17 already, the radiometric data suggests it's a very complex
18 flow system. You have multiple flow paths contributing
19 moisture to any given point, and that's shown by the highly
20 variable radiometric and geochemical signals that, in places,
21 seem disconcordant or at odds with one another.

22 So, the lessons learned from this so far are, first
23 of all, that we ought to expect disconcordances among travel
24 times indicated by different radiometric methods, and, in
25 fact, they're inevitable. They have to be, even under an

1 ideal situation, and here I've shown just one reason why, and
2 that's because as soon as one has mixing of waters of
3 different ages, you get discordant radiometric travel
4 times.

5 I've tried to make that point here twice; once,
6 just with a conceptual model, and, secondly, with a simple
7 calculation. This conceptual model is meant to show three
8 water age travel time distribution, two of them just bell-
9 shaped curves, but with different sigma values. This blue
10 one would represent, say, a mixture of fast-moving fracture
11 water with slow-moving matrix water that's much older, and
12 the idea here is that you could conceive of these three
13 populations having the same identical average--whatever that
14 means--travel time, but they would have dramatically
15 different radiometric signals, radiometric travel times.

16 Then I tried to make that point again by going
17 through a simple calculation, and here, the idea is you have,
18 of the sample that you're looking at the radionuclides in, 1
19 per cent of it is fracture flow that's young enough it
20 actually carries bomb pulse nuclides. 99 per cent of that
21 volume is old matrix water of four different ages, and I have
22 four cases here.

23 So, you imagine, you take this 1 mil poured into 99
24 mils, so what do you get? Okay, if the matrix water was
25 5,000 years old, then the C-14 signal would be about 55 per

1 cent modern carbon. It'd be about 1 per cent at 125 per cent
2 modern carbon, plus 99 per cent at about 50 per cent modern
3 carbon, and so the age that you'd get would be about 5,000
4 years.

5 But for Chlorine-36, here you'd have, adding 1 per
6 cent bomb pulse Chlorine-36 with something that's essentially
7 undecayed from the present day signal, so you'd still get a
8 signal that's slightly above present day, so you'd look at
9 that and say, "Ah-ha, bomb pulse, modern."

10 Now, let's say what if the matrix were 50,000
11 years? Now, the bulk of the C-14 in your sample is coming
12 from that 1 per cent fracture fluid, but the matrix fluid
13 itself is essentially dead, and so the apparent radiometric
14 travel time, based on C-14, would be 35,000 years. With
15 Chlorine-36, 50,000 years is just a night, a single night.
16 It doesn't decay very much, say, 8,000 years. Actually,
17 you'd look at it and you'd say, "Present day, but pre-bomb."

18 What if you had 100,000 years? Well, now, the only
19 source of C-14 is brought in that 1 per cent fracture fluid,
20 and so one would calculate an age of 36,000 years, and, in
21 fact, it doesn't matter if it's 500,000, a million, a billion
22 years, you're always going to get that 36,000-year-old
23 apparent travel time from C-14, but the Chlorine-36
24 increasingly more closely reflects the hydraulic age of these
25 older waters.

1 So, the point here is to say that it's a very--it's
2 almost impossible to imagine that one doesn't have mixing of
3 waters of dramatically different ages, and as soon as that
4 occurs, one is going to get these discordances like this,
5 and Andy's going to reiterate this point with his particle
6 tracking results from his flow model.

7 Second lesson learned is we need multiple
8 radionuclides, and we need to continue, because you get a
9 different view of the mountain if you looked at just one of
10 these, or even just two of these than you'd get by looking at
11 all three of them together.

12 Thirdly, one can't separate out the hydrologic flow
13 aspects of this issue from the solute transport aspects,
14 because the physical and geochemical processes are
15 controlling the transport, even though the so-called
16 conservative tracers, such as by matrix diffusion and
17 dispersion, so it's not just a hydrologic flow model that one
18 needs to use to look at these data, but, also, the site
19 transport model.

20 And, finally, no site model is going to be able to
21 reconstruct all the radiometric signals, for no other reasons
22 than difference in spatial scales, and you can see that the
23 tritium signals are varying over centimeter scales, and our
24 blocks, our model blocks on the scale of 100 meters on the
25 side, tens meters a side, so there's no way we're going to be

1 able to reconstruct those signals.

2 With that, I'll stop and ask for questions.

3 DR. DOMENICO: Thank you very much, June.

4 You know, the Board has been extremely supportive
5 of this kind of work. It's prima facie evidence of movement
6 through that mountain, so I think your presentation is very
7 timely, and I'm certain that there's some questions here that
8 some of the Board members would like to address to you.

9 Don Langmuir; Board.

10 DR. LANGMUIR: June, you posed two interpretations.

11 What has to be done to take that down to one, and can it be
12 done?

13 DR. FABRYKA-MARTIN: I think the answers are there. I
14 think the--

15 DR. LANGMUIR: In the existing data, or additional data
16 you'd need?

17 DR. FABRYKA-MARTIN: I think Al Yang's data holds the
18 answer. It's just a matter of more people becoming familiar
19 with those data and studying them, and spending as much time
20 with them as Al has, for one thing. I mean, the major
21 problems, more than anything else, is, I guess, the issue of
22 gas/liquid exchange. To me, that's one of the most basic
23 questions there is, and so that's one thing that needs to be
24 resolved. I think with his data on Carbon-13 isotopes and
25 pore water chemistries, that the answer does lie in that set,

1 but few of us have had the luxury, or, I shouldn't say
2 luxury, the exposure to the data that he has.

3 The other thing is the tritium issue, too, with
4 what those high peaks are. I honestly don't know how to
5 resolve that issue, because it's hard to come up with an
6 independent way of checking those data, so the analysis
7 itself destroys the sample. Is that right, Al? Once the
8 water's extracted, that's your only shot, so it's just a
9 matter of following careful QA procedures and...

10 DR. YANG: Al Yang, USGS.

11 Now, for that tritium pulse, this afternoon, not
12 this afternoon, maybe for the round-table, I can put more
13 data up on the chemistry, and a showing of the ground water
14 would correct it. It shows some of the data from near the
15 surface, calcium bicarbonate-type water, and it's in the
16 ground water. That's evidence of some of the fast paths, so
17 that date, if you want me to show now, or maybe this
18 afternoon?

19 DR. DOMENICO: In order to be timely here, we've got,
20 according to my calculations, about seven minutes, but I'd
21 like to give June the courtesy of any further questions from
22 Board members or staff.

23 DR. LANGMUIR: Can I ask one more?

24 DR. DOMENICO: Certainly.

25 DR. LANGMUIR: Is this information that you're obtaining

1 and Al is obtaining going to give us any read on lateral
2 versus vertical movement?

3 DR. FABRYKA-MARTIN: Oh, yes.

4 DR. LANGMUIR: I mean, in the Solitario Canyon, are you
5 collecting the kind of data that will provide insights into
6 flow directions interbed, and that sort of thing?

7 DR. FABRYKA-MARTIN: Say again?

8 DR. LANGMUIR: Interbed flow, for example, from the
9 Solitario Canyon area.

10 DR. FABRYKA-MARTIN: Well, okay, I should back up.
11 First of all, the data cannot say anything about pathway.
12 All it says is that you see this at that point, so it's in
13 conjunction with the modeling that we can rule out, or at
14 least rule as one scenario being far less likely than
15 another, and I think that's the point Andy's going to make in
16 his presentation as well.

17 Does that address your question?

18 DR. LANGMUIR: In part, yeah.

19 DR. DOMENICO: I don't think there's any question that
20 the occurrence of bomb tritium in-depth at Yucca Mountain has
21 got to be explained at some point in this program. I don't
22 think there's any doubt about it, in the sense that that does
23 represent prima facie evidence.

24 Any questions further from--Cantlon; Board?

25 DR. CANTLON: Recognizing your caveat that fast pathways

1 for these radioisotopes are not relevant necessarily to
2 movement of radioactive materials from the repository, with
3 hindsight, would it have made better sense to pick a site
4 with much deeper unconsolidated materials over the footprint?

5 DR. FABRYKA-MARTIN: I don't think so. I think any site
6 that is studied as intensively as we've studied this is going
7 to come with its own complications.

8 DR. CANTLON: But the movement of materials, if you have
9 evapotranspiration of very sizable amounts is going to be
10 very different than where you don't have a high level of
11 evapotranspiration.

12 DR. FABRYKA-MARTIN: But even aside from that, ground-
13 water travel time is just only one issue, too. I'm sure
14 there's other problems that would be outside my--I would be
15 kind of brash to actually offer an opinion on that at all.
16 It's funny, because I got that question before.

17 DR. CANTLON: We like brash people, June. Thank you.

18 DR. FABRYKA-MARTIN: Yeah.

19 DR. PALCIAUSKAS: June, could you put on your sort of
20 hat and look into the future, let's say, knowing where the
21 program is as it is today, and the work you will be doing and
22 Al Yang will be doing, and also, the modeling that is coming
23 in line? What do you envision as being, in terms of
24 understanding, where do you expect that we will be in about
25 three years in our status of knowledge of the flow system

1 that you work with during this?

2 DR. FABRYKA-MARTIN: I think in three years, these are
3 the issues that I would want to see and would assume that we
4 will have resolved by then; one being the nature of the
5 gas/liquid exchange process for C-14, which, as I pointed
6 out, is not only a ground-water travel time issue, but also a
7 solute transport issue, and I think that Al is well on the
8 way, if he doesn't already have it, to having the data to
9 evaluate that.

10 Also, similarly, whether or not the vapor fluxes--
11 there are, indeed, high vapor fluxes due to temperature and
12 pressure variations. I think data are being collected that
13 should answer that question through Joe Rousseau's program.

14 I think we heard discussion yesterday, such as from
15 Scott, for example, that there is some hope that there may be
16 a physical model capable of explaining the bomb pulse tritium
17 at depth by looking at the nature of how the fracture
18 coatings affect the matrix fracture interactions. That's one
19 possibility, anyway.

20 I hope, within the next year, that they have a
21 correction method so, at a minimum, we'll have an estimate of
22 how large the uncertainty of those corrected ages are, and
23 whether or not those corrected ages, given the large
24 uncertainties, are useful to the project, or whether or not
25 we should just back off on that.

1 We're further along--and maybe by sometime next
2 year--deconvoluting the chemical and the isotopic data to try
3 to estimate relative volumes of water transmitted by
4 different pathways. I think it's going to require us to
5 cross our study plan boundaries and work together more
6 closely than we have heretofore.

7 And, finally, all of us are working--the data
8 collectors are working closely with the modelers. There's
9 been a dramatic increase in our interactions, even over the
10 past year, and I think that's going to continue to ramp up
11 over the next couple years to make sure that the geochemical
12 and isotopic data are not inappropriately used, that they're
13 used knowing the caveats and the limitations; you know when
14 something's firm and when something's sort of ambiguous.

15 Does that answer your question?

16 DR. DOMENICO: June, I'd like to see Al's data if we
17 could at this point, and before we go on. Al, would you do
18 us the courtesy of presenting some of that information to us
19 on this topic? We're departing a little bit from the program
20 here, but we'll try to stay with the time constraints, but we
21 may run a little bit over, but I think it's important enough
22 that we see this.

23 Thank you very much, June.

24 DR. YANG: Okay. First of all, the Carbon-14 show the
25 same peak on aqueous, too. It's by the tritium and by the

1 Carbon-14. It's young ages.

2 DR. LANGMUIR: Al, excuse me. This is squeezer data
3 from the matrix?

4 DR. YANG: Yes. So you can see this Carbon-14 is almost
5 100 per cent --, so it's a very young water at the Calico
6 Hill. That's one thing.

7 This is the pore water from UZ-16 I was talking
8 about. I'm not sure this is dark enough to see it. Can
9 everybody see this? Okay. So, you can see the crossing
10 here, all these are the UZ-16. The water, when we hit the
11 water, we didn't hit the water at that time, so then water
12 come up after we finished it. Then, without pumping, we
13 collect the water up and then using for those chemistry
14 changes.

15 Now, you can see all this below 1200 feet. It's
16 all Calico Hill at UZ-16. Now, above it, 1600, it's in here
17 now. You can see these cross. It's right here. All these
18 three crosses somewhere in here and in here and in here, and
19 here at one crossing here, too.

20 DR. LANGMUIR: Al, can you define the corners of your
21 diagram so we know what you're doing here? You're talking
22 about calcium concentrations, aren't you?

23 DR. YANG: Right. You can see here, and all these
24 things in here is from the saturated zones, water. Now,
25 those Carbon-14 was dated. It's conducted about 7,000 years,

1 non-corrected apparent ages. If they are corrected, it would
2 be younger than 6,000 years, and from these path of diagrams,
3 you know, this is show you where the young water is, when it
4 forms. When they finish at the Calico Hill, then they show
5 up in here.

6 However, the crosses up here, up here, and one even
7 up here, showing you the young water chemistry, and that's
8 what is apparently near the top of the Calico Hill. So
9 that's another area. If it's all older, should be all four
10 around here, but this water table water has shown some of the
11 higher one that the Calico Hill, and one even up on here,
12 near the very top chemistry of the water. So that's showing
13 you some of this rapid flow.

14 DR. LANGMUIR: Al, I don't think the audience knows what
15 a piper diagram is. Maybe some of us do, but can you explain
16 what the corners represent and what the trends are?

17 DR. YANG: Right. Here is the calcium, sodium,
18 magnesium major ions. This is bicarbonate, chloride, and a
19 sulfate. So, now, all this from here and from this
20 intersection of every element in here, and this diagram show
21 that evolution of the waters, it's coming from young water
22 from near the surface. I have another one on pore water in
23 here. It's in my briefcase here. Near the top water is all
24 formed around here. Topopah Spring, formed around here,
25 Calico Hill, all formed around here, and that's where the

1 perched water is formed around here.

2 So, when the water is formed around here, it's
3 showing you it's near the top of the young age water, and
4 apparently this water shows up in the saturated zone water.
5 That's the point I'm driving across.

6 DR. CORDING: The points on top are Calico Hills points
7 with the Xs; is that right?

8 DR. YANG: This X is not Calico Hill. It's ground
9 waters. It's pick up from the ground waters.

10 DR. LANGMUIR: Al, what you're saying is the water types
11 are--

12 DR. YANG: This is not the pore water. These are the
13 ground waters.

14 DR. LANGMUIR: The water types are consistent with the
15 ages; is that the essence of this?

16 DR. YANG: Yeah.

17 DR. LANGMUIR: If it's a sodium water, it's a certain--
18 they tend to be one age; if they're a calcium bicarb water,
19 it's another age?

20 DR. YANG: Right, something like that.

21 DR. LANGMUIR: And they're consistent with the ages, the
22 chemistries?

23 DR. YANG: Yes. Age is young, you know, 6,000. If you
24 go back and look, mostly--youngest is J-13, about 9,000
25 years. The old one is about 13,000-17,000 years old, and

1 this is the first time we see on the Calico Hill, on the UZ-
2 16, the water table water is only about 6,000; if it's
3 corrected, even younger, maybe 5,000, 4,000. I would go into
4 it more for the age corrections, because depending on what
5 caliche is dissolved into this water, and that's caliche.
6 Right now, it's very, you know, it is caliche. It's not
7 marine. There are some ages. It's ranging from 20,000 years
8 to about 50,000 years on the caliche.

9 So, depending on how much of this is dissolved,
10 then you have to age correct for that, and that comes from
11 the Carbon-13 ratio, and it's very hard to see, you know,
12 there is no--there is a deposit on top of it, and you hardly
13 can separate these out, so the Carbon-14 age corrections,
14 it's very hard to do. Right now, I only give the ranges,
15 maybe from 6,000 to about 2,000 years. How are you going to
16 get exact ages? I don't know even if we can do it. I don't
17 think we can do it. We just can't tell age. It's likely
18 like this, but you cannot get because it is so confusing,
19 setting to a ratio in the calcite, when they dissolve near
20 the surface in the caliche, and we can't get very exact ages
21 out and I don't know how to solve it.

22 That's how it's complicated, because they layer and
23 they layer and they layers, and they cannot separate these
24 layer out to dating it. They try to see the young ages by
25 the -- group, and I talk with them. They say they cannot

1 separate those young water out. When you take it out, it's
2 all mixed. Old water and young water is all this. If you
3 don't know the caliche ages, you know, it's hard to correct
4 for this Carbon-14 age in the water.

5 So, you know, we can say it's less than how much,
6 but exactly how much, we cannot tell, and I'm sure we can
7 resolve that problem in the future.

8 DR. DOMENICO: I'd like to take this up at the round-
9 table if we can. Do you have another slide there, Al, or are
10 we--

11 DR. YANG: I'll have more maybe this afternoon.

12 DR. DOMENICO: Well, yeah, but I think probably later.
13 We better go on in the interest of time. Thank you. Thank
14 you very much.

15 The next presentation is modeling of fast pathways,
16 conceptual models and data needs, prepared by Bruce Robinson
17 and Andy Wolfsberg, but presented by Andy from Los Alamos.

18 DR. WOLFSBERG: I'm not sure where this title came from
19 that is in the agenda, but it's not the topic of my talk, and
20 it's interesting, especially after Gilles' tirade last night,
21 that we set the record straight, but what we're doing is
22 we're looking at the migration of solutes in unsaturated
23 fractured rock at Yucca Mountain, and we're viewing it from
24 the solute transport perspective, and in this talk, I want to
25 talk about the mechanisms and measurements and the models

1 that we're using.

2 Fortunately, I don't have to spend a lot of time
3 talking about the mechanisms, because one of the speakers
4 last night did such a nice job at really going through the
5 whole complex process that we have to deal with, and so, as I
6 get into the simulations that we're doing, I just want to
7 draw attention to the fact that we're dealing with aqueous
8 and gas phase solutes.

9 It's a multi-phase system that we're dealing with,
10 and we're looking at the driving forces and the barriers to
11 movement of the solutes that we're looking at; the driving
12 forces being, primarily, right now, what we're interested in
13 is the infiltration of the aqueous phase solutes. There were
14 some other driving forces that were brought up, but, for our
15 purposes right now, the infiltration is the key component of
16 getting to the bottom of that transport process, and for the
17 gas phase solutes, we're looking at temperature and pressure
18 gradients as driving forces for those.

19 And, for the barriers, again, we have aqueous and
20 gas phase solutes that undergo different processes. It's key
21 to address the fact that these are important physical and
22 chemical processes that affect the movement of the solutes,
23 regardless of what's happening to the moisture as it moves
24 through the system.

25 The issues I'll be talking about are molecular

1 diffusion and sorption of the aqueous phase solutes, and, in
2 effect, the same processes for the gas phase solutes. We
3 have diffusion into the rock matrix when we have gas flow in
4 fractures, and reactions of gas phase solutes which--at
5 least, partitioning between the gas and the aqueous phase,
6 but it looks like a retardation, a sorption-type process.

7 Now, the measurements that are so key these
8 studies, I've just put the four most important ones up there.
9 There's plenty more, but infiltration is absolutely
10 important, and I was really pleased to hear Al Flint's talk
11 last night, because as they make more and more progress with
12 defining infiltration, the top boundary for this system,
13 which is going to be so key to the floor modelers, and it's
14 actually key to the transport modeling as well, we'll be
15 using that information, and you'll see as I continue through
16 this talk why better knowledge of that information is going
17 to be important to our work.

18 Now, when you're seeing the Chlorine-36 and the
19 Carbon-14 measurements of June and Al--and that's, in a
20 sense, to calibrate our transport models; that is, to make
21 sure we have a handle on the transport processes that are
22 occurring in Yucca Mountain, but the problem at hand is not
23 the movement of Chlorine-36 or Carbon--well, Carbon-14
24 actually is a radioisotope that is potentially released from
25 the repository, but the answers we need to know are how are

1 the releases going to move.

2 What we have, though, is we have data on
3 infiltration, and the movement of these to help us understand
4 the system, so we can move in the direction--and I shouldn't
5 have put Kd. I should have put, you know, something
6 important like neptunium, because that's one of the
7 radionuclides we're interested in. Kd is the measurement
8 that's being taken, but we move from this set of measurements
9 to understanding of the system, to this set of measurements,
10 to predicting what's actually going to happen, which is going
11 to be so key to the performance assessment people as they
12 evaluate how the potential repository's going to behave into
13 the future, not the past.

14 I apologize. Most of you don't have a lot of
15 colored pictures in your handout. I couldn't make that many.
16 I tried to make them for the Board members, so I just--these
17 don't Xerox well, and I'm not a good enough graphics person
18 to figure out how to make them in black and white, so I just
19 didn't.

20 I just want to briefly describe the modeling
21 process we go about. We very recently received the three-
22 dimensional hydrostratigraphic model that's being used by the
23 USGS, LBL, and we're now using that in our site transport
24 modeling. I'm showing this stuff in two dimensions because
25 it's easy to display that way.

1 We take the hydrostratigraphic model. It composes
2 18 units. Roughly, the red units are the PTn--I'm sorry, the
3 Tiva Canyon welded unit. The very thin yellow unit through
4 here is the Paintbrush Tuff non-welded unit. Then we have
5 the thick Topopah Springs, and then the Calico Hills below
6 that. Those are going to be the four units that we focus on
7 as we go through this system.

8 We can take these hydrostratigraphic units--it's a
9 three-dimensional model--and extract a three-dimensional,
10 two-dimensional grid at whatever resolution that we need,
11 which is a key component to being able to effectively do
12 these modeling studies.

13 Now, what I want to start out with first is the
14 work that we're trying to do in support with June. I've
15 recently started working with her on trying to use the
16 modeling to work collaboratively with the Chlorine-36
17 measurements.

18 We're starting this out with two-dimensional
19 simulations. By this summer, we'll be doing the three-
20 dimensional simulations. As we get the areal map of the
21 infiltration, you'll see why it's going to be so important
22 that we go to these larger simulations to try to get a handle
23 on what's happening in the system.

24 We're taking a grid, which represents an east/west
25 cross-section through Yucca Mountain. We call it

1 approximately the Antler Ridge cross-section, and, first, we
2 solve the flow problem, and then we solve the solute
3 transport problem.

4 We're looking at the effect of non-uniform
5 infiltration. Alan Flint so well stated that that's an
6 important aspect of what they're measuring, and where it's an
7 indication that there was high infiltration on the west slope
8 of Yucca Mountain, which would be up in this area up here, so
9 appointing a high infiltration over there, we generate a
10 system where we're simulating the Chlorine-36 movement
11 through this cross-section, and under the area of high
12 infiltration, we do have fast movement down through the
13 Topopah Springs into the Calico Hills, but then significant
14 lateral movement underneath.

15 So, right now, what we don't have in here is we
16 don't have the fault. We'll be putting that in as we get the
17 fault properties from the USGS. Depending on how those
18 properties are assessed, that'll be a key component to what's
19 happening to the lateral flow. There's a lot of issues that
20 we need to deal with here.

21 Mechanistically, what we see is that knowing where
22 the infiltration is high is an extremely important data
23 point, boundary condition that we're going to need towards
24 understanding how these solutes move, and what we get is by
25 modeling the Chlorine-36--I've normalized it from zero to

1 one, one being atmospheric concentrations--we see the
2 concentrations decreasing, but we still have younger water
3 represented by a higher Chlorine-36 signal underneath older
4 water, which, mechanistically, supports one of June's
5 hypotheses that lateral flow is one process that can get
6 younger water underneath older water, rather than viewing it
7 as a pipe basically flowing straight down from the surface.

8 DR. DOMENICO: Excuse me, Andy. What's your lower
9 boundary condition; the flow model?

10 DR. WOLFSBERG: Right now, this is the water table.
11 It's at no flow boundary.

12 DR. DOMENICO: No flow. Okay, and the blue is the old
13 water; the red is the young?

14 DR. WOLFSBERG: Yeah. The scale goes from older to
15 younger. On the surface we have a constant input source
16 strength of background going through, since we don't have any
17 bomb pulse in here at all, and so, this is 500×10^{-15}
18 Chlorine-36 to chloride ratio, and as we go from red into the
19 blue--this is including the 300,000 year half life, so the
20 water is getting older as you get further down, and so, this
21 is not 50,000-year-old water. I mean, this is substantially
22 older at .5, which is about where the green is. That would
23 be one half life. That's 300,000 years.

24 So, this does not describe the system, but this is,
25 you know, we're starting to get a handle on the processes.

1 This is modeled with an equivalent continuum model, and we're
2 now putting permeability into the system, and we'll see if,
3 in fact, that does get this infiltration down to the Calico
4 Hills more quickly, so that it can begin its lateral movement
5 and maybe these ages will actually move into the Calico Hills
6 more rapidly. I can't say that for sure right now. I'll be
7 talking about dual permeability a little later on.

8 DR. CORDING: Your vertical/horizontal permeabilities
9 are--you say you're using different ratios, are you?

10 DR. WOLFSBERG: The vertical permeabilities are those
11 that are used in the LBL model right now, right here.
12 They're uniform across the strata, varying substantially in
13 the vertical. So, we have much higher permeabilities in the
14 PTn unit and the Calico Hills, low permeabilities in the
15 Topopah Springs and Tiva Canyon.

16 DR. CORDING: So this is matrix permeabilities?

17 DR. WOLFSBERG: Yeah. We have fracture permeabilities
18 as well. The equivalent continuum model uses both fracture
19 and matrix properties, and a continual property is calculated
20 from that. We'll be moving into the dual permeability model,
21 and I'll show some results from that later. We haven't done
22 that for this type of simulation yet, but it models a
23 fracture continuum, a major continuum, and the interaction
24 between the two.

25 DR. CORDING: Right. But, for this case, you have a

1 single permeability, and each layer has a single vertical and
2 horizontal permeability?

3 DR. WOLFSBERG: That's correct. They vary from layers.

4 DR. CORDING: But when you come down to the bottom line
5 on it, whether it's fracture or matrix, you're picking one
6 value, a smeared sort of value. Is your vertical
7 permeabilities higher, lower than horizontals, or what?

8 DR. WOLFSBERG: The horizontal and the vertical
9 permeabilities are the same for this model.

10 DR. CORDING: Okay.

11 DR. WOLFSBERG: In each unit.

12 DR. CORDING: All right.

13 DR. LANGMUIR: Is this comparable to the composite
14 porosity?

15 DR. WOLFSBERG: That's exactly--

16 DR. LANGMUIR: And you're going towards the WEEPS model
17 when you're going towards--

18 DR. WOLFSBERG: The equivalent continuum and composite
19 porosity, it's the same.

20 DR. LANGMUIR: Right, okay, and the WEEPS model is where
21 you're headed, or something analogous to it?

22 DR. WOLFSBERG: No, the dual permeability.

23 DR. DOMENICO: In the interest of time, I think we
24 better move forward and save these for after the
25 presentation.

1 DR. WOLFSBERG: Now, in working on these Chlorine-36
2 simulations, June could have alluded to the Chlorine-
3 36/chloride ratio as not being constant over time, and
4 there's some references to the Chlorine-36 being--cosmogenic
5 production being related to the geomagnetic field intensity
6 over time, which they have a record of, and I've written
7 clearly these are estimated variations in Chlorine-
8 36/chloride ratio as related to the geomagnetic field
9 intensity, but for the purposes of this study, it's
10 important--the important aspect is, is that here's where we
11 are right now, and that's the current ratio of Chlorine-36 to
12 chloride ratio, and going back through time, it's been--
13 there's a potential that it's been actually stronger, and so
14 we've taken this function and put it into our transport
15 model, and again, there's no bomb pulse Chlorine-36 in here.
16 We've deliberately left that out.

17 And I'm comparing the simulation where Chlorine-
18 36/chloride ratio has been constant over time with the case
19 where it's with the variable input strength, and so, for that
20 reason, you see the scale on the bottom graph going up to
21 1.1, because, in fact, it's been stronger in the past.

22 And we see, at depth, instances where, due to the
23 brighter red color, there's stronger Chlorine-36/chloride
24 ratio than, certainly, in the case where we didn't have the
25 variation, and, in fact, it's underlying, you know, we

1 basically see younger water underlying older water by an
2 analysis based on a constant production of Chlorine-36, when,
3 in fact, that's not true. This is all the water just came in
4 with a stronger source.

5 So, what that means is, this aspect of the project
6 needs to be evaluated to determine how it can be used in
7 these studies, and what ramifications it has on the
8 measurements they're taking. If, in fact, we have--due to
9 the whatever infiltration process we use, you know, faster
10 movement in Calico Hills, and then lateral movement, we may
11 see this signal from the past stronger Chlorine-36/chloride
12 down here that would actually look, you know, make the water
13 look apparently younger than it is, so I wanted to address
14 that component of this study.

15 The other thing June talked about towards the end
16 of her talk was the importance of the mixing of waters.
17 That's why I've got these three points located, the .1, .2
18 and .3. With our particle tracking simulations, we can
19 actually look at the distribution arrival times of those
20 locations, and these arrival times give us some indication of
21 the mixing of the water.

22 Now, at the first point, which was just below the
23 high infiltration zone, it's not surprising we have a very
24 thin distribution of arrival times. They're all coming in
25 the same flow path and arriving at about the same time, all

1 the particles that are measured there.

2 As we move into the lateral flow in the Calico
3 Hills, we start getting a component of water that's not
4 coming in from that fast vertical flow, and as we get further
5 out there, this red line indicates a bimodal distribution
6 where the first hump is the fastest water that's coming in
7 laterally, and then this is the arrival of the vertical
8 infiltration that's coming down through the top.

9 So, we're mixing relatively young water with
10 relatively older water. If we just looked at the Chlorine-36
11 ratio in that sample, what would the age be, and would it
12 actually represent the transport processes that led to the
13 mixing of fluids at that location?

14 Now, let me move on to the Carbon-14. I'm glad Al
15 Yang is here, because we're looking at the movement of C-14
16 in the gas phase as a fast flow path, a fast mechanism of
17 transport of C-14. The initial conditions for the
18 simulations that we do involve computing a saturation profile
19 in the mountain, and then holding the moisture content fixed
20 at that saturation, and we're only going to be modeling the
21 gas flow. Eventually, we'll be doing both gas and fluid
22 flow, but, for now, for the purposes of this demonstration,
23 it's just a gas flow model.

24 We also have a temperature profile, which is based
25 on a gradient from lower to high, as well as a temperature

1 profile across the surface of the mountain.

2 Then we simulate the gas flow, and we get a flow
3 path, and this is consistent with the work Ed Kwicklis has
4 done, and other people at USGS. We have flow coming in the
5 valleys, and out the chimneys. You have lower pressure and
6 lower temperatures up there, and that leads to that. Because
7 of the stratification of the system, we have a flow, a low
8 flow zone, and a weaker, but very extensive deep zone where
9 the gas comes in from here, flows down, and then up.

10 Now, the big question is, so what? Just because
11 you have gas moving, CO₂, does that have any implication on
12 the CO₂ water samples that are taken?

13 We model the full chemistry, the full carbonate
14 chemistry for this system. I have the overhead if anybody
15 wants to see what the equations look like, but there's a
16 partitioning between the gas phase and the aqueous phase, and
17 we view that as a potential, very important chemical
18 mechanism for basically tagging the water samples with an age
19 that's relative to the movement of the gas, and it doesn't
20 have to be related to the movement of the water at all.

21 What I've tried to show here are two end members
22 for this type of analysis; no chemistry, that is, the gas
23 dismissed through the system and through fractionation, puts
24 a radiometric signal on the aqueous, on the water, which, in
25 this case, isn't moving, and the case where we have a pH of

1 8.4, which implies substantial partitioning between the gas
2 phase and the aqueous phase.

3 The radiometric ages here, due to the flow path
4 that I showed before, range from very young to old, and here,
5 we only have 2200-year-old water all the way down to the
6 water table. As we increase the chemistry that we're putting
7 into the system, the movement of the C-14 in the gas phase is
8 retarded. It's a retardation mechanism, and we see an
9 increase in the travel time and, therefore, the signal on the
10 water samples.

11 Now, as a last little analysis, the last thing I
12 did was, I said, "Well, wait a minute. The water table is
13 something on the order of 10,000 units." So we just put a
14 constant signal of 10,000 units down here, and even for this
15 massively-retarded system, we shifted the time scale of the
16 system from 36,000 units which is the maximum age you're ever
17 going to measure with Carbon-14, and which June described in
18 her talk. We shifted it down to 20,000 units, so that's, you
19 know, that's about a third of the scale that's been reduced,
20 and this is still for a pH of 8.4.

21 Our next step is to include the calcium carbonate
22 dissolution chemistry, which is going to actually determine,
23 or it's going to be an important component of what the pH is
24 to the system. It's going to differ in the different units,
25 depending in the mineralogy, and then we'll have a varying pH

1 and this graph will change and we're expecting to see
2 something between this and this. But, again, I reiterate
3 that this is assuming that there's interaction between the
4 gas and the aqueous phase.

5 I don't completely understand Al's argument that
6 there isn't, but I know it's an argument that he makes, and--

7 DR. LANGMUIR: Which of these is closest to what's been
8 measured so far in the mountain?

9 DR. WOLFSBERG: It's something between. Al has
10 measurements between three and 10,000 units.

11 DR. LANGMUIR: In terms of these three?

12 DR. WOLFSBERG: Yeah. It's in between this one and this
13 one. I mean, Al's measurements range in age between three
14 and 10,000 years, and so, I mean, our initial conditions for
15 calculating the flow field were very rudimentary. It was
16 just a pressure and a temperature profile across the surface.
17 We need to find out the barometric connectivity through
18 faults and fractures at depth, which will be an important
19 driving force. That may, in fact, reduce the age of--I mean,
20 this is an outflow of gas, and so, you wouldn't expect to see
21 20,000-year-old gas at the surface, but because it's coming
22 from depth, it'll move on a very slow outflow path. That's
23 why that's measured.

24 But, anyway, something between this one and this
25 one would represent the measurements that are currently

1 taken, and it's going to be a pH-dependent problem, and it's
2 going to require better resolution of what the initial
3 boundary conditions for the gas movement, not to mention
4 there is aqueous--I mean, here we have no fluid movement. We
5 have stationary water. Once we get the infiltration and all
6 that working, we'll have the movement of water as well.

7 What this gives us is something that we can
8 actually turn over to performance assessment that'll be used
9 in their analysis of the movement of radionuclides from the
10 repository, and I'm not going to go through the whole process
11 of computing Kds and retardations, but we come up with a map
12 of retardations of Carbon-14, which are based on pH and the
13 saturations of the system, and, you know, that's a usable
14 tool that will be beneficial in their type of modeling that
15 they need to do.

16 Okay, I've got to move very quickly here. We've
17 talked about the Chlorine-36, we've talked about the Carbon-
18 14, two very different transport paths, rather than one
19 single pipe that gets to them, but I could build up to the
20 worst case scenario. If we're measuring these elevated
21 Chlorine-36, Carbon-14 and tritium at depth, what kind of a
22 pipe would it actually take to get those from the surface to
23 depth?

24 And so, this is a model that Cliff Ho from Sandia
25 National Lab has used and presented, and it's a conceptual

1 model that helps us look at these systems. He's looked there
2 from a flow perspective. We're now looking at it from a
3 transport perspective.

4 It's a vertical column. You don't have any lateral
5 flow out of the PTn, so we've eliminated that as a barrier to
6 solute migration. If it comes in through the Tiva Canyon, it
7 keeps going through the PTn, so we no longer have any
8 buffering effect of the PTn.

9 We have matrix and fracture characteristics for
10 each of the four different units, and we're going to look at
11 varying infiltration rates into the system. We're going to
12 value the sensitivity to the infiltration rate; the
13 diffusion, a physical process that affects all solutes,
14 regardless of whether they're reactive or not; and a
15 fracture/matrix connectivity. This is modeled with a dual
16 permeability system model that solves a fracture continuum
17 system and a matrix continuum, and then couples the two
18 through a connectivity term.

19 The first thing we do is we compute saturations for
20 both the fractures and the matrix, and, not surprisingly, as
21 we increase the infiltration, the saturations go out most
22 remarkably in Topopah Springs, and the fracture saturations
23 go up, too. It's important to note that, because as fracture
24 saturations go up, there is more volume in the fractures, and
25 so if you have any kind of movement of solutes, there's more

1 carrier volume to bring them with.

2 I'm going to start moving towards the extreme now,
3 and I'm only going to look at infiltration rates of one
4 millimeter per year and four millimeters per year. Now,
5 previous studies have looked at infiltration rates of, you
6 know, .1, .01 millimeters per year, but with the new
7 information we're getting, it seems very reasonable to start
8 looking at the high infiltration rates.

9 There have been three typos in this talk. Here's a
10 very important one. The diffusion rates are in meters
11 squared per second, not per day, and I apologize for that,
12 and I hope nobody misconstrues this information.

13 What we now do is we look at the case of no
14 diffusion and increasing the matrix diffusion, because that's
15 the process that gets the solutes from the fracture into the
16 matrix.

17 First of all, for this case, we're looking at
18 breakthrough curves in years, and so we're at about 10,000
19 years, and with no diffusion, you get a different
20 breakthrough curve for the fracture and the matrix flow. The
21 diffusion, it turns out, as we increase it, provides the
22 buffering mechanism to slow the solutes down in the system.

23 Now, as we move to a high infiltration rate, we see
24 that the relationship between the diffusion term and the flow
25 rate in the system becomes more profound, and at a diffusion

1 rate of 10^{-12} , we still have a slightly different breakthrough
2 between the fractures and the matrix. We're expecting the
3 diffusion rates for the system to be somewhere between 10^{-10}
4 and 10^{-12} m²/day (sic). That's why these aren't just arbitrary
5 numbers. This is indications we get from Ines Triay's group
6 at Los Alamos.

7 But this still, even at a high infiltration rate,
8 shows that the diffusion is an extremely significant process
9 that retards movement of the solutes in the fractures. Even
10 if you have fracture flow, what I really need to do is to
11 show--I probably should put that graph on this one to show
12 breakthrough curve in the fracture without diffusion, and
13 breakthrough curve in the fracture with diffusion. So you
14 have ground-water travel time arriving early, and yet, with
15 the diffusion of the solutes, it's a retarding mechanism.

16 The next system we're trying to evaluate was
17 discussed in the panel last night about fracture coatings.
18 What if the connectivity between the fractures and the matrix
19 is substantially less? We reduce that connectivity by an
20 order of magnitude, so through some sort of coating,
21 consistently distributed throughout the entire fractures--I'm
22 not going to worry about the saturations--we have less
23 imbibition from the fracture into the matrix.

24 And so, you do start to see a very different
25 behavior in the breakthroughs of the fractures with no

1 diffusion in a very early one, with this intermediate
2 diffusion turn, you see a double breakthrough curve, and only
3 at this higher diffusion rate do we actually see the fracture
4 and the matrix breaking through at the same time, basic full
5 retardation due to the diffusion.

6 If we can come with some justification for why we
7 need to reduce the fracture/matrix connectivity, I don't have
8 that physical argument right now. I wanted to look at a
9 worst case scenario, and, again, for the increased
10 infiltration of four millimeters a year, you see the same
11 process.

12 DR. DOMENICO: Andy, you're going to have to wrap it up
13 in a minute here.

14 DR. WOLFSBERG: All right. All these studies are to
15 support the work that we're doing in the movement of
16 radionuclides, as I'm charged with putting this up. There's
17 a whole other parameter that needs to be considered, and
18 that's the adsorption of the radionuclides in the Calico
19 Hills, and I just need to make the argument that as we
20 understand the system more, and the four new fractures, this
21 figure will be revised, because this is for a uniform
22 infiltration rate, but we're just looking at breakthrough
23 curves of neptunium from the potential repository.

24 Under the worst case, very thin Calico Hills, and
25 relatively high infiltration rate in the matrix, and we see a

1 massive retardation of the neptunium, and we haven't talked
2 at all about adsorption and chemical processes in the Calico
3 Hills, a very important natural barrier to radionuclide
4 migration.

5 All right. So, in summary, to summarize this, the
6 dipping stratigraphic beds may provide a reasonable pathway
7 for Chlorine-36 from regions of high infiltration to the
8 locations of measurement, and we need to do this in a full
9 site-scale map, and that's what we're moving towards. The
10 new infiltration data from Flint & Flint, and three-
11 dimensional site transport models are going to help us
12 understand this.

13 The gas phase movement of C-14, in my mind, is a
14 very important process for considering as far as how is that
15 C-14 moving through the system, and how do we compare the C-
16 14 measurements with the Chlorine-36, since they're two very
17 different transport mechanisms.

18 The high tritium signal isn't explainable. There's
19 two data points at depth that we're concerned with. They're
20 right next to data points that have background, so that needs
21 to be addressed, and I finished up with the dual permeability
22 simulations that look at what types of processes occur within
23 the fractures and matrix that might actually lead to that.

24 I'm sorry for going over.

25 DR. DOMENICO: No, you didn't go over. Thank you. We

1 gave you five minutes that we took away from you and someone
2 else, but thank you very much.

3 I'm going to, in the interest of time, I'm going to
4 hold questions of this one so we can go forward, so we're
5 running only a few minutes behind. Thank you very much, and
6 thank you for adhering to the time constraints.

7 The next presentation comes from Lawrence Berkeley,
8 of course. Yvonne Tsang will talk to us about
9 characteristics of flow and transport in highly heterogeneous
10 media, and this is a theoretical study.

11 DR. TSANG: I'm going to talk about the flow and
12 transport in highly heterogeneous media, and I will talk
13 about advective transport only in this talk.

14 When you have a strongly heterogeneous medium, that
15 means when you make a measurement, that your measurement
16 would depend on where you make the measurement, so there is
17 very strong spatial variability, and that, of course, is
18 manifested in the flow channeling and the so-called fast
19 path.

20 So, if the numbers you get depend on where you do
21 the measurement, that means there is a lot of uncertainty
22 because of spatial variability, and so we would like to know
23 how this would influence your prediction of the performance
24 of your repository.

25 So, in this talk, I will try to address how the

1 site-specific data should be assimilated into the performance
2 assessment process to reduce the uncertainty of predictions
3 given your finite amount of data that you can collect, and I
4 will use a site-specific example, which is not the Yucca
5 Mountain.

6 So, the outline of my talk is: First of all, I
7 will describe to you our conceptual model, a stochastic,
8 three-dimension model of a fracture medium, and this is using
9 the site-specific hydrological data from SKB's Aspo Hard Rock
10 Laboratory. This is an island in southern Sweden, and it is
11 in the granitic fracture medium.

12 I will show you some calculation on the transport
13 predictions, and show you that it is sensitive to the
14 structures of heterogeneity, and, also, I will show you some
15 calculations to quantify this uncertainty due to the spatial
16 variability, and one point is that we show, also, you see,
17 usually, when you do a site characterization, you can do your
18 experiment in the very small scale. You don't have the time
19 to do a very large scale experiment.

20 However, I will show that, actually, in these very
21 highly heterogeneous medium, Fickian limit is not reached, so
22 that when you get your parameter out at a smaller scale, you
23 really cannot--this does not represent what is on a larger
24 transport distance. So then we have to think about what is
25 this implication, then, to inference from your small scale

1 measurement to very large scale predictions, and then I will
2 summarize.

3 So, this work is related to the SKI Site-94
4 Project. SKI is the Swedish Nuclear Power Inspectorate, and
5 the Site-94 project is part of their strategy for developing
6 integrated performance assessment as a licensing tool for the
7 nuclear waste repository.

8 What they do is they have, in this strategy, is
9 they have alternative geological, hydrological transport,
10 geochemical conceptual models, many models from different
11 scientists, not just one model, but all based on the site-
12 specific data, and the data is based on what we call the
13 pre-investigation. Right now, already, the hard rock
14 laboratory, which is 600 meters below the Baltic Sea, is
15 built now, and now they are beginning to carry out
16 underground experiments, but all the data are based on the
17 pre-investigation from 1986 to 1990, and there is a wealth of
18 data, borehole and surface based, geological, geophysical,
19 hydrological, and geochemical.

20 And so, using these data, then, the strategy is to
21 do a performance prediction, and so this is a dress
22 rehearsal, I will say, from the site characterization to the
23 performance assessment, using the site-specific data, but not
24 a repository. This is just a laboratory.

25 So, let me just give you a little bit of background

1 for those of you that are not familiar with Aspo. This is
2 the island, and you can see there's many, many boreholes, and
3 some are cores. Most of the core boreholes are in the
4 southern island and down to 600 meters deep. A lot of these
5 other boreholes are just percussion, maybe down to 100 and
6 200 meters. Most of the hydrological data is in the southern
7 Aspo Island, so my 3-D model is actually only covering the
8 southern Aspo Island. The scale here, you can see, is about
9 500 meters.

10 Okay. So, the hydrological data I'm going to use
11 is for these very, very deep, 600-meter, boreholes. There
12 are seven. They pack off every three meter section, and they
13 do injection tests, so you get a local hydraulic
14 conductivity, lots and lots of data. Then they do the
15 interference pumping test. I'm going to use those point data
16 to construct my model. Then I'm going to calibrate my model
17 to the interference pumping test.

18 So, these local hydraulic conductivity, thousands
19 of points, data points, is plotted over here, hydraulic
20 conductivity on a log scale. You can see that it ranges over
21 seven orders of magnitude, because it's a fracture medium,
22 okay. Seven orders of magnitude, and this is a distribution
23 of the hydraulic conductivity. I just divided them out into
24 six classes, about one order of magnitude for each class, and
25 in the next graph I'm going to show you how these hydraulic

1 conductivity data are distributed in space. I will color
2 code it in a rainbow color. The highest will be red, and
3 down to the blue.

4 Right now, I would like to say the highest
5 hydraulic conductivities only cover about 10 per cent of all
6 the data they collect.

7 This is a three-dimension rendition, so you can see
8 the contour of the island on the top. This is the north, and
9 you can see these boreholes. This is boreholes, and the red,
10 the high conductivity, you can see those really cover a very
11 small percentage, and most are actually very, very low
12 hydraulic conductivity. Remember, all were seven orders of
13 magnitude here, and if you can see some of these short lines,
14 orange short lines, these are the bracket where the spinner
15 test shows very high conductivity, and they're very
16 consistent with the injection test data.

17 Now, I took these data, and then I also look at the
18 correlation, so I plot out variogram for all the different
19 classes. In your handout, you will see this variogram, and I
20 don't have time to show, and what they show is it's mostly
21 the variograms show no effect. That means there is no long
22 range correlation. They are all very short correlation.

23 On the other hand, when you look at the radar
24 measurement, the borehole fracture mapping, and geological
25 measurement, they show very, very extensive fracture zones

1 all over, and in the southern Aspo Island, where I'm going to
2 concentrate, they actually have the set in the nor-northwest
3 and the nor-northeast, very steeply dipped, very extensive
4 fracture zone.

5 So, what I'm going to do in my model is I'm going
6 to use the hydrological data as my hard data to condition my
7 model, but I'm also going to use these data to take into
8 account that they are fracture zones in the medium.

9 So, this is my model, then, stochastic continuum
10 model. We will use geostatistical generation of a three-
11 dimension hydraulic conductivity field. That means I will
12 take a block of 500-700 meters, and 600 meter deep three-
13 dimension block, discretize it into 10 meters by 10 meter
14 blocks, and in each one, they will have a different hydraulic
15 conductivity.

16 They will be conditioned to the point data, so
17 everywhere where there's a measurement, the hydraulic
18 conductivity will be exactly the same as the measurement.

19 Now, I already mentioned that the variogram shows
20 no--only short range correlation; however, because the nature
21 of the data are all these borehole data, so they're very
22 closely spaced in the well, but then they are widely spaced.
23 So, in fact, even if your long range correlation--and I
24 prove that--you really cannot tell from the variogram. So,
25 then, I would have the option of incorporating the geological

1 information of these major fracture zones; that means, they
2 are very transmissive structures with long correlation
3 length, so this is my hypothesis:

4 Because they are extensive zones, there might be
5 long correlation length, and I call that the soft data. This
6 does not contradict the hard data. It is consistent with all
7 the measurement.

8 So, what we have, then, is a single continuum
9 representation, but I will have all the fracture and the
10 matrix. Then, of course, I will do the flow calculation, and
11 then I will do the transport, and back to transport, by
12 particle tracking.

13 I was very fortunate that just before I started
14 this project, I learned about the method of Gomez & Hernandez
15 of a non-parametric technique. That means you don't have to
16 assume any kind of normal distribution. You just take the
17 data as it is, like what I've done here, and separate into
18 different classes, and it turns out to be very useful in the
19 sense, in this method, I can actually assign a different
20 correlation length for the extreme classes.

21 So, what I have done is, I take this very high
22 conductivity and I assign them very long correlation length,
23 on the order of 200 meters in these orientation of the
24 fracture zones; whereas, for all these other ones, I allow

1 them just to have short correlation length.

2 So, in this way, so that means in extreme values of
3 hydraulic conductivity, I give a very large correlation
4 length, so the generated field can have a very long range
5 connectivity for only the very high conductivity, and this
6 allows the concentration of all the large conductivity in the
7 specific planes of fracture zones, so this is my way of
8 incorporating fractures in a continuum model.

9 So, what I'm going to show you next, then, is my
10 generation, and first of all, I'm going to show you--only
11 single out the high conductivity, the red, and, remember,
12 these are three-dimension pictures, so I orient on the
13 computer screen until I have it in so that I can look at it
14 exactly on edge, and you can see very clearly the high
15 conductivity as we want it to be, has these very long range--
16 they sort of align themselves in this orientation; whereas,
17 if you go down to this lower conductivity, say, in the yellow
18 or in the blue, they are just isotropic. They will fill up
19 the whole medium, as you see here.

20 So, now, then, let's now look into one of these
21 fracture planes, then, in the fracture zone. When you look
22 at one of the fracture zones--this is a continuum model.
23 That means I have hydraulic conductivity over the whole three
24 dimensions, so what I show here is just highlighted in one of
25 the planes, and you see, of course, in the plane you have all

1 seven orders of magnitude of the hydraulic conductivity,
2 except they do--the larger ones do seem to have a long range
3 and they congregate here.

4 So this is quite different from what you see in the
5 discrete fracture model, when you have one plane and they
6 have only very high conductivity. I believe this is actually
7 more realistic. This is probably what you will see in the
8 few. They tend to concentrate there, but you have all seven
9 orders of magnitude of the hydraulic conductivity.

10 So, then, that means my conceptual model looks like
11 this schematically. When people talk about fracture network
12 model, that means you only assign very high conductivity in
13 these fractures, and nothing over here. In my model, I have
14 a continuum. That means I have hydraulic conductivity
15 everywhere, except I assign some kind of long range
16 correlation, and if you look at one into the fracture zone,
17 you still have all hydraulic conductivity, but more high
18 conductivity.

19 What is the consequence, then, if you do a pumping
20 test, when you do a fracture network, if you do a pumping
21 test, they pack off in these holes, they pack off one
22 section, they pump, and then they observe at all the other
23 packed off sections. In this model, unless you have both
24 your pumping well and your observation well on these

1 fractures, you will see no response. That's a
2 characteristic, and, remember, no matter how long you pump.

3 In this picture, if you, initially, when you pump,
4 because you have this high conductivity, if you have both
5 your observation and pumping well on these lines, you will
6 see a very fast response, but if one of these were over here,
7 you probably will see very little response in the beginning.
8 But if you pump longer, you will, because mine is a
9 continuum, you should see response for all packed off
10 sections, and, actually, this is exactly what is seen.

11 Most pumping tests are done for--they pump for
12 three days and then they look at the response in all the
13 packed off sections. Then there are two long-term pumping
14 tests. One is for 30 days, and one is for two months, and,
15 indeed, they show that kind of a response, and I don't have
16 time to go into--we have also done transient calculation to
17 show that the short term, only a fraction response, some at
18 very long distance also respond, and there is only a fraction
19 at the very short distance of response, but when you pump a
20 longer time, almost everything in the near field responds.
21 It's in your handout, some of the data, but I won't go into
22 it now.

23 DR. PALCIAUSKAS: Yvonne, the 200 meter correlation of
24 that thing, what is the size of the grid block compared to
25 that?

1 DR. TSANG: Only about 600 meters, but this is a
2 spherical model for the correlation, and so when I say 200
3 meter, really, data only correlate within 200 meters. When
4 you use a different co-variance model, say, exponential,
5 which is very common in most cases, then when you talk about
6 200 meters, they are really correlated over, maybe, 600
7 meters. We have look at it for maybe when a correlation down
8 to 100 meter or more. It's not very sensitive.

9 Okay. So, now, once we have the model, now, this
10 is just schematic. We have this block of 500, 700 x 600
11 meter block, a three dimension model, and I'm going to do a
12 very simple case, close boundary on all side, just a linear
13 gradient, okay, so then let's consider that the bottom is our
14 repository level and the top is our land surface, and you
15 have transport going up.

16 So, let's consider, then, a release from the entire
17 repository level here, the tracer release. Now, we will do
18 the measurement up in the land surface, and I am going to now
19 divide the top up to 100 meter by 100 meter block for
20 observation, okay? So, what I'm going to show you on the
21 next graph is you see a picture of 5 x 7, 35 blocks, divided
22 35 blocks, okay?

23 What you're going to see is, first of all, you're
24 going to see at the top surface, and I do particle tracking
25 by tracer, so every time there's a particle come up, I give

1 it a dot. So this is your poppyseed plot on top. What we
2 are seeing is 500 by 700 meters, so you see very clearly that
3 if you were going to do your measurements somewhere over
4 here, and here, you probably will wait for a long, long time
5 before any stuff will come out, not surprising at all. When
6 you have heterogeneity, this is always what's happening, and,
7 also because of these long range correlation of these nor-
8 northwest, nor-northeast feature, you can see that stuff are
9 coming out so over here, and maybe over here.

10 So, this is just an illustration of the spatial
11 variability. Depending on where you do the calculation, you
12 get very different observation. Now, of course, when we do a
13 transport experiment, we do tracer breakthrough. We look at
14 how the mass is coming out as a function of time, so in the
15 next graph, I'm going to show you for each observation area,
16 I'm going to give you a plot of the evolution of the tracer
17 mass coming out as a function of time, and they're all
18 plotted on exactly the same scale, and here it is.

19 Okay, so illustrate again. If you are doing
20 measure, measure, measurement here. You will say, no
21 transport, nothing, you know, very, very safe. On the other
22 hand, if you look at some of these, you can say this is a
23 very, very early arrival, and a lot of times you see these
24 multi-peak structure, which is very characteristic of a
25 transport in a heterogeneous medium.

1 This is done when I included the long range
2 correlation. Of course, as I said, my hard data actually
3 doesn't show any long range correlation, so I can just go
4 back to do a calculation where I forget about the long range
5 correlation, and just consider everything to be isotropic.
6 What kind of a result do you get?

7 If you look at a spatial distribution, indeed, when
8 you take away the fracture zones, you have a much more evenly
9 spaced--not evenly spaced, but if you average over this
10 different area, essentially, if you go to different areas
11 everywhere, you will see something, okay, so the spatial
12 variability is a little bit reduced, and, again, if you look
13 at the breakthrough curve, now you can get something from
14 every block, although, still, if you just make a measurement
15 over here, that is not characteristic of the medium, because
16 you can make measurement, whatever parameter you get out at
17 different ones will be particular to where you do the
18 measurement.

19 Since we cannot really go out and do all these
20 measurements, let me now just do a spatial average. Let's
21 average over everything, and just get one breakthrough curve
22 for each system.

23 What I'm going to show you, then, now, is each one
24 of these breakthrough curve is when you are looking at
25 collecting it over the entire surface, and what you have is

1 these four are four different realization of these field
2 where you have the fracture zone in a nor-northwest, nor-
3 northeast, with a dip angle 80 degrees. These two are the
4 isotropic case, no long range correlation whatsoever, and
5 here are with different dip angle.

6 They are plotted on the same scale. All I want to
7 show is you can see now, of course, when you have the long
8 range correlation, when you have fracture zones, you would
9 expect that the arrival is a little bit earlier than the
10 isotropic case, not surprising, and a longer tail. But, in
11 general, you can see now the amount and that the breakthrough
12 curve are actually qualitatively very similar. The results
13 now are stable, which is not surprising at all. I just
14 spatial average over everything, so I just sweep everything
15 under the rug. I mean, my knowledge has not increased at
16 all. I just have integrated a way.

17 So, the remarks on these result is that the
18 spatially integrated solute arrivals are much less sensitive
19 to alternative heterogeneous system. They are similar order
20 of magnitude in solute arrivals if we do a spatially
21 integrated thing.

22 So, that has the implication on the choice of
23 performance measure, or the quantities that you choose for
24 the prediction. If you want to choose a point quantity, then
25 there is a very, very large variation, but if we choose a

1 spatially integrated parameter, then you have more stable
2 result, and that kind of prediction, I will say, is more
3 commensurate with our ignorance of the system. We really
4 don't know enough about the system to ask this kind of a
5 question, you know, where is the stuff going to come out?
6 You would never know when it's going to come out.

7 Now, here, still, I'm talking about tracer release
8 from the entire repository. Usually, of course, when we do a
9 tracer measurement, you're talking about a release from just
10 one point, so now let me do a calculation from just one
11 canister, release from one canister. But I've already stated
12 that you have spatial variability, so, depending on where
13 your canister is, your result will be different. How do we
14 get around this?

15 That means we have to repeat a calculation for
16 hundreds of randomly selected sites of our tracer source, so
17 for each calculation, you will obtain some kind of parameter
18 that will characterize a breakthrough, maybe the v , mean
19 velocity, and the dispersion coefficient. So then you have
20 to repeat all these calculation to get a distribution of the
21 transport parameters, and that distribution is your measure
22 of uncertainty, and that's what we need. We don't have one
23 value. We need a measure of uncertainty.

24 And so, that means in this calculation now, I'm
25 just going over and select randomly different source sites,

1 and then look at the breakthrough at the top, and for each of
2 these calculation, typically, what you will see is this
3 histogram, your breakthrough curve; typically, this kind of
4 multi-peak histogram, and so what I do--this is for three
5 dimension transport. Then we will fit each of these curve by
6 one dimension, advective/dispersive equation. The fitting is
7 just so that I can get out a v and a D . I want to get out
8 some parameter.

9 And I do two things. One is, I can fit this entire
10 thing by a single peak, and get a v and D , or I can go ahead
11 and be a little more complicated, and fit these by each peak,
12 so I call them single peak and a multi-peak fit. So, for
13 each calculation, now, I can get one v and one D , and you do
14 hundreds of calculation. Then what you will get out is this.

15 On the top, this is v , and this is D . This on the
16 top are the single peak fit, and the bottom are the multi-
17 peak fit, so now this is plot in log. You can see again it
18 is a few orders of magnitude and this is the measure of
19 uncertainty. If you are asking, what is the transport
20 properties of the medium if you have a single canister
21 release, you need a result like this.

22 If you make any measurement, it can fall anywhere
23 in the distribution. It's highly probable here, less
24 probable there, yet you might get a measurement over here, so
25 this is just a measure of uncertainty, and we did that for

1 all the different kind of a structures, all kind of a models
2 that is consistent with our data, and see how sensitive it is
3 to the different model.

4 And let me just show you one example here, then. I
5 put it in the table here. Remember, I get the mean velocity
6 and I get the dispersion, so I can get a mean of the
7 distribution, and also a standard deviation from it.

8 What you see here is, here is the case with dip
9 angle 80 degrees, dip angle 90 degrees, isotropic and dip 40
10 degrees, and this is the number of peaks that are fitted.
11 What I want to call your attention to is you look at the mean
12 velocity. They are really not too dissimilar, but, actually,
13 the thing to concentrate on is the sigma. It's this value.
14 This is the measure of uncertainty, and this is what--this is
15 showing you how the different conceptual model, what kind of
16 uncertainty is introduced by a conceptual model.

17 Here, in this calculation, I still am talking about
18 transport over 600 meters in distance. Of course, we don't
19 have the luxury when you do site characterization to do such
20 a large experiment. Usually, you would do experiment with a
21 transport distance at a much shorter distance, so what I'm
22 going to show you now is I did the calculation for transport
23 distance at 100 meters, 200 meters, all the way to 600
24 meters, and show you now how these parameters, v and D
25 change, how does the transport change.

1 So, what we're going to do is that computer tracer
2 breakthrough curves from a single canister source with
3 transport distance of 100 meters, 200 meter, up to 600
4 meters, and we will fit the transport parameters, v and D as
5 a function of the transport distance, so this is how it come
6 out:

7 On the top curve is v , the parameter v ; on the
8 bottom curve is a dispersion coefficient, D , and this is a
9 calculation at 100 meters, 200 meters, 300 meters, 400
10 meters, to 600 meters. The circles are for the isotropic
11 case, where there is no fracture--fracture zones are not
12 taken into account in my model. The squares are where the
13 fracture zones are taken into account.

14 What I would like to call your attention to is this
15 curve, the top curve here, D over v , your usual dispersivity.
16 You can see that for the isotropic case, indeed, the Fickian
17 limit is reached. If you do a measurement at 100 meter, 200
18 meters, this is exactly the same as you go to larger
19 transport distance for the isotropic case, where no long
20 range correlation is included.

21 However, when you include the long range
22 correlation--remember, I'm only really putting the top 10 per
23 cent of the hydraulic conductivity, giving them a long range
24 correlation. You think it's a very small percentage, but
25 what you see is here, certainly, the dispersivity is changing

1 as a function of distance. The Fickian limit is not reached.
2 So, when you do a measurement at this scale, can we use that
3 as a prediction to a large scale?

4 When I'm doing simulation, I have the luxury of
5 doing all this, but when you are actually doing a real
6 whatever, exercise, I mean, you really have to go to the
7 data, site characterization. How do you carry that to
8 performance assessment?

9 So, to summarize, I have shown you a stochastic
10 continuum model. It is a non-parametric sequential indicator
11 simulation conditioned to the hard data. I included long
12 range correlation structures by using the geological soft
13 data to account for fractures, and I use all kinds of
14 different heterogeneous structures, all consistent with data
15 in order to evaluate what is the uncertainty introduced by
16 using different conceptual model.

17 I should emphasize different conceptual model a lot
18 of time can introduce more uncertainty than the uncertainty
19 of your measurement, you know, because, well, and, secondly,
20 I talk about the choice of performance measure. If you
21 choose a point quantity as a predictive quantity, then this
22 is--your prediction will have very large uncertainty, and I
23 don't think you would ever have enough data to narrow your
24 uncertainty if you choose that performance measure.

25 On the other hand, if we choose spatially

1 integrated parameters, then this kind of a choice would be
2 more commensurate with our ignorance of the heterogeneous
3 system.

4 And I've also shown you transport from single
5 canister source releases. I did a three dimensional flow and
6 transport, and I fit it by 1D just to get out these
7 parameters, and in order to assess the variability or the
8 uncertainty, we have to do lots and lots of calculation to
9 get out--to bracket that uncertainty.

10 I think I have demonstrated an approach to go from
11 site characterization data to performance assessment in my
12 theoretical study, but I also point out that when you do a
13 measurement at a small scale, because the Fickian limit is
14 not reached, then you actually cannot infer from the small
15 scale measurement to large scale predictions. When I
16 demonstrated approach, I was doing the simulation.

17 And, lastly, then, I will end my talk with a
18 cautionary note that when you are using the predictions, we
19 really have to keep in mind that there is an inherent
20 ignorance of the strongly heterogeneous system. We have to
21 remember about the spatial variability and model uncertainty,
22 so when we look at the number, you have to keep in mind of
23 the bracket of uncertainty, and not to say this is how the
24 repository is going to perform.

25 Thank you.

1 DR. DOMENICO: Thank you very much. We have five
2 minutes, so we can entertain some questions.

3 I have one right off the bat that I'd like to
4 formulate intelligently, if I can. With regard to your last
5 slide and the conclusion that the Fickian limit is not
6 reached, in the study someplace you actually ran the model,
7 three-dimensional model, and presumably got three-dimensional
8 data and fitted a one-dimensional advection equation to that.
9 I think that whenever you fit a one-dimensional equation to
10 three-dimensional data, or two-dimensional--data obtained on
11 a two- or three-dimensional scale, you automatically build in
12 scaling of the dispersion coefficient, because you're using
13 one value to do the work that's being done in the system by
14 spreading in three directions, so you automatically build
15 scaling.

16 Does this affect that conclusion there? In other
17 words, was that conclusion an artifact of the way you handled
18 it?

19 DR. TSANG: I think this conclusion is, in fact, the way
20 I handle it. Let me first answer this. We are doing a three
21 dimensioned calculation, so now you have this block, and you
22 have a three dimension heterogeneous system. You have the
23 release from a single canister release, and we are doing
24 particle. So, in fact, when you do a particle tracking, this
25 particle release get there and it go up to the top. In fact,

1 it is a one dimension problem. The particle really doesn't
2 know it's a three dimension.

3 So then the distribution, what I get out of the
4 breakthrough curve is all these particles going up, and I get
5 out this histogram, and the fitting of one dimension
6 advective/dispersive equation is really just a method to get
7 out the measure of distribution. It has no, you know, I'm
8 not putting any more physical in it. In my previous work, I
9 avoid using dispersivity, and I use a different measure, the
10 spread and things like that, but because in the literature
11 people seem to, you know, more familiar with this term,
12 that's why I use these terms.

13 But, no, my conclusion still holds with my
14 calculation. Yeah.

15 DR. LANGMUIR: I'm just wondering how all this would
16 work in an unsaturated zone study. This is saturated work.

17 DR. TSANG: This is saturated.

18 DR. LANGMUIR: Where you have a lot of data from
19 boreholes, and continuous fluid somehow in the system. How
20 would this apply to Yucca Mountain, and the other thing that
21 comes--comment related to that, you argue that point
22 quantities, you're going to have large variations if you're
23 trying to predict point behavior in the system, whereas, if
24 you're willing to accept an integrated behavior for a block,
25 you have better chances of predicting that performance on a

1 larger scale.

2 But if we're dealing with fast paths, how much do
3 we have to know? Do we have to know more than that in a case
4 like Yucca Mountain? Do we have to identify where the fast
5 paths are, in fact, in a system like Yucca Mountain?

6 You haven't worried about it here. You're looking
7 more at average behaviors on different scales.

8 DR. TSANG: The whole focus of this project actually is
9 not--it's not even the model or the system, it's really the,
10 how do you go from data? Everybody look at the same set of
11 data and we come up and interpret data, and then we make a
12 prediction. How do you carry all the uncertainty from the
13 site characterization to the performance? So that is more
14 the emphasis on the methodology, but let me come back to the
15 difference between saturated zone and unsaturated zone.

16 There are two things, also. When you are saying
17 looking for fast path, there might be some physical features
18 that give you a fast path. Then I will say you can find it,
19 you know, and you can maybe engineer around it. But if these
20 fast paths are due to heterogeneity, the small--when I say
21 small scale, it's not this large, small scale heterogeneity,
22 then you will always have these kind of a fast path, and you
23 really can't identify where.

24 All we can say in my calculation is, yes, there
25 will be fast paths, and in that system, it is more likely; in

1 the other system, it is less likely, but where, I cannot tell
2 you, and that is my idea about don't look at the point
3 measurement, so I think it's these two.

4 Then how does it carry over to unsaturated? In a
5 lot of calculation, of course, the heterogeneity will be even
6 more pronounced in the unsaturated zone. There are different
7 processes. In certain things, maybe they will go in
8 different directions, but, in most cases that we have looked
9 at, the heterogeneity is far more pronounced in the
10 unsaturated zone.

11 DR. LANGMUIR: That means you'd have to have more data
12 from the unsaturated zone system to use your model?

13 DR. TSANG: Actually, I didn't come to that point.
14 Actually, I think when you go to--the reason I also go
15 through this exercise is to show what kind of data do you
16 need to use. Actually, I don't think it's more is better. I
17 don't think it's, you know, get more and more. When I unpack
18 my boxes on this project, I have about three boxes of 40 or
19 50 reports. Out of all that, eventually, I come up to use
20 what I can use in the model, so I don't think it's go and
21 collect more data. I think this is why we need to go through
22 this exercise of how do you utilize the site characterization
23 data?

24 I think that's why you have to ask your question,
25 what do I really want to predict? In this case, I want to

1 predict this. Then I only need this kind of a data, so I
2 think that's why we need to go through this exercise of what
3 is a performance prediction, what do we need to predict, and
4 what kind of data we need, and then we go back and see
5 whether it's useful, and what give us the most uncertainty.

6 In my case, it seems the structure is giving us the
7 most uncertainty, and so this is something that we will have
8 to look into more.

9 DR. LANGMUIR: Is there any isotopic information from
10 the Swedish site that you tied into in your opinion?

11 DR. TSANG: Yes. My responsibility in this is,
12 actually, I was doing the advective transport to feed it into
13 their chemistry model. So they were using my advective
14 transport to do the full chemistry. Yes, there is some
15 underwater geochemical chemistry.

16 DR. DOMENICO: In order to have a full break, which is
17 important to me, I think we'll probably conclude this. Come
18 back at ten-fifteen, and we have then some presentations on
19 what basically all of this means to performance assessment.

20 (Whereupon, a break was taken.)

21 DR. DOMENICO: Moving right along, the next two
22 presentations will consider the consequences of what all this
23 means, if we could take our seats, so the next presentation
24 by Rally Barnard will deal with the consequences of what we
25 refer to as fast pathways for Yucca Mountain.

1 DR. BARNARD: Thank you, Pat.

2 I'm going to talk about the importance of fast
3 paths to site evaluation at Yucca Mountain, and for the
4 purposes of this presentation, there are two main aspects of
5 fast path evaluation that we need to be concerned with. The
6 first is ground-water travel time, and the second is what we
7 can call performance assessment, or the total system
8 performance assessment.

9 And one thing to keep in mind is that these two
10 evaluations consider vastly different time periods for
11 ground-water flow. Ground-water travel time, the requirement
12 specifies that the fastest path of likely and significant
13 radionuclide release should not be less than a thousand
14 years; whereas, for total system performance assessments,
15 we're interested in times up to, perhaps, a million years if
16 you consider doses.

17 So, we have a very large range of times that we
18 have to consider, and it's quite possible that the
19 implications and meaning of fast paths for those two cases
20 are different.

21 What we're doing so far to investigate fast paths
22 falls into three different categories. I have refrained from
23 bringing that infernal diagram of the PA pyramid here, but if
24 I did, you'd find that the top item there, the phenomenal
25 logical, I call it--it's probably the bottom of the pyramid.

1 It's where we look at process models, and we're looking
2 theoretical and experimental studies of flow channeling, for
3 example. That's work that's going on by Bob Glass and Vince
4 Tidwell at Sandia, where some of this type of work is being
5 done, and some of the work that Andy talked about, I think,
6 would fall into this category, also.

7 Then, the next level up is the ground-water travel
8 time work that I have been doing some of the technical
9 management for, and, in this case, what we're doing is
10 attempting to model water particles, orange water, or
11 something like that, in both the saturated and unsaturated
12 zone, but only looking at flow modeling. We are not
13 considering any geochemical or other retardation processes,
14 nor are we considering any aspect of mobilization of
15 radionuclides from a source term in this. It's just how
16 water would flow.

17 And, finally, wrapping the whole mess up is TSPA.
18 The hydrologic component is what is applicable to this. Bob
19 Andrews, in the next talk, will be discussing exactly where
20 the fast path issue will fit into a total system performance
21 assessment, and at the risk of stealing some of his thunder,
22 I'll just mention that he looks at the geosphere and
23 represents it as different barriers through which the fast
24 paths that we're interested in must penetrate.

25 The thing to notice and to remember about all these

1 different types of models is that they emphasize different
2 aspects. There are different degrees of abstraction here
3 between the phenomenological down to the TSPA, and there are
4 certainly different scales in which the modeling is being
5 done.

6 Well, I will now give you something of an update on
7 where we stand on GWTT-95, the 1995 ground-water travel time
8 work. What this will require, to a certain extent, is
9 dredging back in your minds, remember what we talked about
10 for GWTT-94, because this is to build on that, and due to the
11 lack of time, I'm not going to be able to make contrasts
12 between the two.

13 But, to start off, I'll make a contrast between the
14 two, and that is these are the model domains that we are
15 using for GWTT-95, and in 1994, two of the model domains--A
16 and B, shown here--were the transects that we used,
17 essentially to the west of the Ghost Dance Fault, but now,
18 you see we've added two more.

19 The Transect C, practically north/south, lies along
20 the path of where the ESF main tunnel will go, a little to
21 the west of the Ghost Dance Fault, and then Transect D runs
22 down Drillhole Wash, and the importance of that is that, as
23 you can see, we are attempting to take data from drillholes
24 that are near the transects to condition our geophysical
25 simulations, and Transect D had a multitude of data points

1 that were used for our conditioning data.

2 There are a number of faults included, not only the
3 Solitario Canyon and the Ghost Dance, but the Windy Wash, I
4 think, is the other one that is also included in there. Oh,
5 and the other thing to notice is the color coding on the
6 drillhole identification shows which data are available for
7 us to use for conditioning.

8 To model the hydrologic properties on the two-
9 dimensional cross sections that we used, we have developed a
10 slightly different technique from last time; whereas,
11 previously, the work involved first identifying rock types by
12 means of a geostatistical simulation, and then developing
13 heterogeneous porosity and hydraulic conductivity properties
14 on there, we've now gone straight to developing the--
15 simulating the hydrologic properties such as porosity and K-
16 sat directly on the cross sections.

17 For example, for matrix porosity here, where we
18 have conditioning data available, passing through a transect,
19 those data are used directly, and where they are not
20 available directly, we have a geological framework model, the
21 LYNX model, which is something being developed by Chris
22 Routman and Bill Zalinski, which is characterized by the
23 porosity values and some lithologic values to identify where
24 the different distinctive units are. So, that is used for
25 areas where values are not available directly.

1 And then, K-sat is calculated by what Sean McKenna
2 calls a co-regionalization analysis, which provides a
3 correlation between the porosity value and the K-sat value.
4 There is a regression relationship between porosity and K-sat
5 which is used to give a, hopefully, a more meaningful
6 heterogeneous distribution of K-sat values across transects
7 like this.

8 But, what you can see in this case is that there
9 are a few locations of quite high porosity. The Topopah
10 Spring basal vitrophyre is this dark blue layer; in other
11 words, the layer at which we have some of the lowest
12 porosities. It's reasonably continuous. Another thing to
13 notice here, which is a major difference from the '94 work,
14 is that we have included faults in here. You can see an
15 offset here, and an offset here. Here's the Solitario Canyon
16 offset, and everybody can see that one, so, if you couldn't
17 see the rest of them, believe me.

18 In addition to the matrix properties which I
19 discussed for the previous slide, the fractures are also
20 being modeled somewhat differently this time. We have
21 isotropic randomly-oriented fractures representing the
22 cooling fractures, and then some vertical fractures which are
23 representing tectonic effects, and so, from this, we can
24 generate some idea of the hydraulic properties of faults. We
25 can model them in a parametric fashion by varying the density

1 of vertical fractures.

2 I don't have time to go into too much of the
3 detail, but I do have an illustration of that if we have a
4 chance to look at it later, but what we're doing is combining
5 a deterministic geologic framework model--this time, in
6 contrast to what we did last time--with geostatistical
7 simulations of the material properties within the units.

8 This differs from the '94 work, where we did not
9 have a deterministic geological framework model, and so the
10 unit contacts varied all over, and this time, they don't do
11 that so much.

12 Yesterday, we heard from Alan regarding the shallow
13 depth infiltration studies that he's doing, which are what
14 provide us with the boundary conditions for our flow models.
15 The thing to realize is that I think the issue started to
16 come up yesterday as to what the boundary conditions should
17 be for a model at depth, for example, at the depth of the
18 repository.

19 Well, we may not be right, but we're certainly
20 positive about what we're doing in this case, because we are
21 modeling the flow from the surface, where we have some data,
22 down to the level of the repository before we attempt to use
23 those values for the actual flow which might carry
24 radionuclides to the accessible environment.

25 Alan's stuff is, as we learned, he uses both the

1 neutron-hole data and surficial saturation, and, most
2 importantly, as we use these data, we include the geography;
3 in other words, a north slope is going to have a different
4 behavior than a south facing slope.

5 What we're planning to do with this work is to look
6 at the effects of transient boundary conditions, but this
7 will be a sensitivity study in our work, so that from this
8 we'll see some short-term, local increases in infiltration
9 and see what the effects are.

10 And, as June and Andy have talked about, in our
11 work this time, we're going to review the data and the
12 modeling that they have described from the isotopic dating
13 studies, and we'll see if we can use that as a check on our
14 model.

15 What we have completed so far this year are a set
16 of boundary--excuse me, not boundary conditions, but
17 benchmark studies on the UZ flow models, and for that,
18 TOUGH2, FEHMN, and DUAL have all been compared in some
19 benchmark tests, and the four benchmark tests, plus a reality
20 check as the fifth item, are described here.

21 Unfortunately, I don't have the time to go into
22 much of the detail on it, but suffice it to say that when we
23 use the dual permeability model, which is being done with
24 TOUGH2 and with FEHMN, we've been able to model fracture flow
25 in heterogeneous and homogeneous materials with less than

1 saturated matrix conditions, which is not a profound
2 surprise, but it is certainly something that we're happy to
3 be able to do, in view of the restriction that is imposed by
4 the composite porosity model for generating fracture flow.

5 And, again, I can emphasize that in GWTT-94 work,
6 where we used DUAL, which is only a composite porosity model,
7 the fracture flow that we got first required that we had
8 saturated matrix conditions.

9 Let me illustrate some of the results that we're
10 seeing from these benchmark studies. This is a comparison of
11 the composite porosity and dual permeability models for a
12 heterogeneous, two-dimensional volume. Here, this is 1,000
13 meters by 500 meters. The black glob there is the location
14 of where saturated conditions, ponding for one hour, was
15 turned on. This is the modeling after one hour, and the
16 important thing to note here is that both the composite
17 porosity, matrix saturation, and the dual permeability matrix
18 saturation are essentially the same, and at the bottom down
19 here you can see saturations of about one at the location
20 where the water table would be.

21 Here, we see the fracture saturations, which is
22 where the big difference occurs. In the composite porosity
23 model, the only place where we got any fracture saturation at
24 all was immediately underneath the area where the ponding was
25 introduced, and, in contrast, now, we have a column of

1 fracture saturation, very high up here, and somewhat
2 decreasing, but the heterogeneity shows that it is quite
3 variable throughout this model domain.

4 So, we really do have a handle now on being able to
5 generate fracture flows which are necessary for particle
6 tracking that we will be doing for the ground-water travel
7 time.

8 In addition to having to model the unsaturated
9 zone, we need to model saturated zone flow to be able to
10 cover ground-water travel time all the way to the accessible
11 environment. Again, we are starting from the GWTT-94 work,
12 but enhancing it in several regards. The model domain that
13 we're using--excuse me. We didn't do this in GWTT-94, so
14 this is actually starting from the TSPA-93 work.

15 That total system performance assessment model was
16 what was developed by George Barr from the USGS regional
17 scale saturated flow model, but this time, the work has been
18 enhanced from what George originally did by reinterpreting
19 the geological contacts in the volume beneath the water table
20 that we're modeling, to make sure that fault offsets and
21 other observed characteristics from the data are properly
22 represented.

23 Again, as we did in TSPA-93, we have used the
24 STAFF-3D code, but, also, we are writing the problem using
25 FEHM. This is important, because STAFF-3D is isothermal. It

1 cannot take into account variations in the temperature of the
2 water, whereas, FEHM is going to be able to, so we will be
3 able to include the observed temperature anomaly in water
4 associated with the Solitario Canyon area.

5 The STAFF-3D model, and FEHM, as is going to be
6 used, is an equivalent porous medium model which implies a
7 ready ability to exchange water between the fractures and
8 matrix, and so, this is what is going to be used for the
9 particle tracking, the SZ particle tracking, and the UZ
10 particle tracking is based on the flow field described
11 previously from TOUGH2.

12 So, the UZ particle tracker will be based on the
13 dual permeability conceptual model. The particles are going
14 to be tracked in both the matrix and fracture continua, and,
15 of course, it will allow for an exchange of particles between
16 the fractures and matrix so that, again, in contrast to GWTT-
17 94, we won't have essentially a single shot at transporting a
18 particle when it enters the fracture continuum to the water
19 table and out of the problem, but it'll be more realistic, we
20 hope, in that particles will travel sometimes by fracture
21 advection, sometimes by matrix advection, then possibly back
22 to fracture, and so forth like that, more like what one would
23 expect to happen. The SZ particle tracker is going to use an
24 average value flux.

25 What remains to be done for this work is to link

1 the UZ and SZ distributions that we're going to develop, and
2 there's probably a lot of wrong ways to do it, but,
3 hopefully, we'll come up with a right way, because what we're
4 going to have to do is include both spatial and temporal
5 factors in there.

6 Clearly, if you have flow over here, you don't want
7 to attempt to link it to flow in the unsaturated zone to flow
8 in the saturated zone over here if there's no conceivable
9 communication between those two points, and so forth.

10 Well, a couple of other issues that are slightly
11 off the track of the direct modeling that we're doing for
12 GWTT-95 is to address the scenario selections that we are
13 doing. It's important that we, as well as everybody else,
14 understand all the processes, the features, events,
15 processes, and so forth that could possibly occur that we
16 need to take into account.

17 We need to make sure that we are as close to being
18 exhaustive in considering--maybe not in modeling, but in
19 considering the processes that could be occurring as
20 mechanisms for ground-water flow. This is important because
21 when we make our recommendations, our report to DOE, who, in
22 turn, makes their reports to the regulators, we have to make
23 sure that we don't have any glaring omissions or oversights
24 in the analyses, and so, by looking at the scenarios that are
25 descriptive of what's going on, hopefully, we can be

1 reasonably complete in our selection of what we have modeled,
2 and also have a good feeling about that which we have not
3 modeled, but have been able to dismiss for good reasons.

4 Another issue is something that has developed--I'll
5 talk about it in a minute, but the NRC staff and we have been
6 negotiating on some issues regarding ground-water travel
7 time, and one thing that they have suggested is that instead
8 of looking at a disturbed zone, which is a post-waste
9 emplacement concept to be applied to a pre-waste emplacement
10 ground-water travel time--which is something of a
11 metaphysical concept, if you ask me--we're looking instead at
12 two different ground-water travel time calculations, a post-
13 waste emplacement calculation, and a pre-waste emplacement
14 calculation, and then you compare the two.

15 And if the two are the same, then that would tell
16 you that if you had evaluated a disturbed zone, it will be
17 really tiny. You wouldn't have to really consider it. If it
18 isn't, well, that makes the problem slightly different, but
19 at least we're on the way.

20 Now, getting back to scenario selection, it's quite
21 likely that post-waste emplacement scenarios describing the
22 fastest paths will be different from the pre-waste
23 emplacement scenarios describing fastest paths. So, there is
24 an ample opportunity to make orthogonal calculations here.
25 If you don't make the right calculation, you cannot make the

1 comparison. This is one of the most important things that
2 scenario selection will do for us, to make sure that we look
3 at consistent paths, consistent mechanisms for the fastest
4 potential paths.

5 The ground-water flow for this analysis is assumed
6 to be controlled by thermal features, events, and processes,
7 and examples of that are a condensation zone, for example, or
8 heat pipes, and it's also going to be controlled by
9 geochemical features, events, and processes, and examples of
10 that are alteration of the Topopah Spring basal vitrophyre,
11 or deposition of silica in the tuff aquifer from hydrothermal
12 flows.

13 Now, the assumption of which of these features,
14 events and processes apply, and to what degree they apply are
15 going to be very much dependent on the thermal history,
16 which, unfortunately, gets us back to the question of what
17 thermal loading should we be using for our calculations,
18 which we need to get from the design people, and then we have
19 to decide on the time at which the calculation occurs.

20 You want me to quit? How about one more slide?

21 DR. DOMENICO: There's always room for one more.

22 DR. BARNARD: Always room for one more, yeah.

23 I alluded to some of the work we're doing with the
24 NRC staff. This has turned out to be extremely valuable,
25 this ongoing interaction with the staff, because there are a

1 number of issues which we know separate ground-water travel
2 time from anything as easy as making a TSPA. This is a real
3 hard one, you see, and it's the guidance of the staff and the
4 interaction with them which is helping to, I think, make this
5 a little more reasonable, and a little more systematic.

6 We've talked about, for example, alternative
7 approaches to evaluating the fastest paths. There is the
8 evaluation of post-waste emplacement versus pre-waste
9 emplacement ground-water travel time, and the last thing is
10 the evaluation of the appropriate times when we should make
11 the calculation. If you make a calculation in the first
12 thousand years, that's a completely different thermal regime
13 from making the calculation after 10,000 years, when the
14 repository could be cooling down instead of heating up.

15 Well, with that, since I can see the hook coming
16 out, I will quit, and--

17 DR. DOMENICO: I'm going to have to hold off any
18 questions, but I have a very special question for you during
19 the round-table, so...

20 DR. BARNARD: Sure.

21 DR. DOMENICO: The last presentation before a light
22 break and a round-table discussion comes from Bob Andrews of
23 INTERA, and further deliverance of the consequences of fast
24 pathways for Yucca Mountain.

25 DR. ANDREWS: Thank you, Pat.

1 As Rally said, we're now going to look at the very
2 top of the pyramid. In other TRB presentations, it sometimes
3 starts with PA and looks down at the bottom, you know, what
4 information needs are there. We've kind of started from the
5 bottom and looked up during this meeting, and I think that's
6 probably appropriate. There's a lot of new information
7 that's been presented during this meeting, yesterday and
8 today, that are directly relevant to evaluation of
9 performance of the total system.

10 As an outline of what I'd like to talk about today,
11 I want to first review, just so we put it into context, that
12 we have a whole system here, not just a geosphere component,
13 which has been the focus of the last day, and, of course, we
14 do that because when we talk to the package and EBS people,
15 we're very careful to point out the contributions of the
16 geosphere, so when we're talking to mostly geosphere-related
17 attributes, we want to acknowledge the impacts of the
18 geosphere on the package EBS environment, and how that
19 controls the total system performance.

20 One look, just very briefly, at the attributes that
21 we're asking of the geosphere in the total system, the
22 potential significance of some localized fast flow paths and,
23 therefore, transport on total system performance, look at a
24 couple of results, some sensitivity studies when these things
25 have been included in total system performance, both in TSPA-

1 1993, which have been reported to the Board earlier, and in
2 some draft work being done in support of the Calico Hills
3 Systems Study, look at what we're doing to include this
4 phenomena, or these phenomena in TSPA-95, and then have some
5 summary discussion.

6 Putting it into context, what we've been talking
7 about for the last day is essentially here and here. Rally
8 brought in the fact that we actually do have saturated zone
9 to consider in ground-water travel time, but the rest of
10 total system performance is all the other little bubbles in
11 there, and all of those contribute to the performance of the
12 whole system. They're not disconnected. There's a very
13 important arrow here from the unsaturated zone flow feeding
14 into that near field environment, which, therefore, then,
15 controls the waste package EBS performance and will affect
16 the total system performance.

17 A very quick, not necessary slide, probably, but
18 just for completeness, to realize that it's the ambient
19 environment, this hydrologic environment, and, of course, the
20 thermal perturbations imposed on that environment that we're
21 asking to be consistent with proposed EBS waste package
22 designs, so they work in a tandem, and there are ways to
23 optimize the performance of the system, if you will, by
24 acknowledging that. Of course, other programs do that in the
25 saturated zone, and we've evaluated those in the unsaturated

1 zone as well.

2 One that we've focused on a lot here is the barrier
3 component that we ask of the geosphere; i.e., increase the
4 radionuclide travel time from Point A, being the repository,
5 to Point B, being the accessible environment.

6 A third very important component of the geosphere
7 is it disperses things and mixes things and dilutes things
8 over time and over spatial domains that we're interested in
9 for those nuclides that are released from the package EBS.

10 I've broken up the next three slides in looking at
11 the localized fast flow phenomena into package EBS
12 environment and performance, and then on the geosphere
13 performance itself.

14 First--and these are just general statements--the
15 significance of the localized flow first depends on what is,
16 in fact, the spatial distribution in quantity and in time,
17 even, of that localized flow; i.e., does it hit packages or
18 not? A very key issue. Clearly, if it hits packages, it's a
19 little more significant than if it doesn't hit packages.

20 It depends, of course, on the efficiency of any
21 emplaced materials, including engineered materials,
22 engineered backfill kind of materials, as they can have an
23 effect on distributing moisture; i.e., liquid moisture, in
24 this case, if we have capillary barrier effects designed into
25 the drift system. It clearly affects the per cent of waste

1 form in contact with liquid water, as do a number of other
2 things, like thermal environment, but the predominant one is
3 on the next slide, is that it increases the likelihood and
4 the amount of advective transport, or potential, even, for
5 advective transport from the package into the EBS; i.e., the
6 invert material sitting underneath the package, and through
7 that invert material, back into the geosphere, into the host
8 rock environment.

9 Clearly, the magnitude, the relative magnitude of
10 advective releases from the package EBS environment versus
11 diffusive releases from the package EBS environment are
12 controlled by the magnitude of that advective flux; the
13 magnitude of the effective diffusion coefficient, which is
14 also a function of that advective flux, because it's a
15 function of the saturations in the near-field environment;
16 and the percentage of the waste package area available for
17 diffusive and, in fact, advective releases.

18 The potential significance on geosphere transport
19 is predominantly the first one. We've talked about that a
20 lot. Clearly, if we have fast flow paths, we have much
21 higher advective velocities; therefore, much lower travel
22 times for those species that are either unretarded due to
23 water/rock interactions, or that do not have very much matrix
24 diffusion, the point that Andy talked about earlier today.

25 The dispersive effects in the geosphere depend on

1 how localized those heterogeneities may be, and the dilution
2 effects clearly depend on how much water is in those local
3 features and the networks.

4 I'd like to next switch gears and look at some
5 sensitivity studies when fast flow and transport have been
6 considered in some TSPA-type analyses, and I'm going to look
7 first at some CCDFs of the normalized cumulative release, so
8 the old EPA standard, over 10,000 years; look at three
9 separate cases: One, a composite porosity versus the WEEPS
10 model, the WEEPS model presented to the Board before.
11 Essentially, it's a discrete fracture model where water only
12 flows through the fracture, there is no fracture/matrix
13 interaction whatsoever. The results become controlled by the
14 likelihood of that localized flow intercepting the waste form
15 itself.

16 And then, two, composite porosity with matrix
17 diffusion; one case where it's increased fracture flow or
18 reduced matrix diffusion, and another case where it's and
19 reduced matrix diffusion.

20 For completeness, I want to show some results,
21 also, of the 10,000-year peak individual dose for those same
22 assumptions, and the million-year peak individual dose.

23 This part, the Board's already seen. This is from
24 TSPA-1993, comparing the WEEPS and the composite porosity
25 model for aqueous releases only, no gaseous releases in this

1 particular case being considered. You can see that the WEEPS
2 model; i.e., the discrete fracture model, if you will, has
3 generally poorer performance at the 50 percentile case than
4 does the composite porosity, essentially looking at reduced
5 travel time from the packages to the accessible environment;
6 to the water table, in this case.

7 Looking at the effects of composite porosity with
8 increased fracture flow, and, in this case, the way fracture
9 flow was increased was by reducing the saturated matrix
10 conductivity of all the units; in this case, by 10^5 , so,
11 essentially, forced that percentage of water to flow through
12 the fractures.

13 And we've also, in addition to decreasing the
14 matrix conductivity, done three things here which effectively
15 reduce the matrix diffusion, so the diffusion of nuclides
16 from the moving waters in the fractures into the matrix,
17 either by increasing the fracture spacing--that decreases the
18 effect of diffusion coefficient--by increasing the matrix
19 tortuosity, or increasing coating factor, essentially to look
20 at coating-type effects on the ability of nuclides to diffuse
21 into the matrix.

22 And you can see, if they're all treated somewhat
23 independently, there's not that much difference in the
24 results over the 10,000-year normalized cumulative release
25 measure. However, when the increased fracture flow, which

1 is, as I said, accommodated by decreasing the saturated
2 matrix conductivity, is combined with reduced matrix
3 diffusion, you see some significant effects. So, clearly,
4 the nuclides in the 10,000-year time period here are coming
5 out in a greater amount, if you will, than they were under
6 the baseline TSPA-1993 assumptions.

7 You see the next slide, a very similar result for
8 the peak dose to the maximally exposed individual. This is
9 that individual at five kilometers, the accessible
10 environment, the EPA accessible environment predicted, and I
11 should say that the package EBS environment for the cases
12 where we decreased the saturated matrix conductivity, or
13 decreased the matrix diffusion were the same as in TSPA-93.
14 There was no modifications on the package EBS environment,
15 which we've talked to the Board about, I think, in April,
16 what changes were being made there.

17 Clearly, there's a significant impact from the case
18 where it's composite porosity with large matrix diffusion, or
19 where there's very limited fracture transport.

20 Looking at the million-year peak dose to the
21 maximally exposed individual, you see a significant
22 difference now between the WEEPS and the composite porosity;
23 very simple. If the WEEPS model only intercepted a certain
24 fraction of the total inventory, probably on the order of 1
25 per cent or less of the total inventory, just because of the

1 localized flow, only went through a limited area, so the
2 WEEPS cumulative peak doses are much less than the composite
3 porosity model.

4 Looking at the composite porosity model with
5 increased fracture flow and reduced matrix diffusion, the
6 important point is, here, when you're looking at a million,
7 when you start looking at longer and longer time frames, when
8 the peak dose is always dominated by neptunium--at least in
9 all the simulations we've done so far, always dominated by
10 neptunium--you essentially, no matter which representation
11 you use, get very similar results. I mean, these factors of
12 three at the 50th percentile, or ten, even, at the 1
13 percentile of the predicted releases are generally not that
14 significant in comparison to all the other uncertainties that
15 are imbedded into that analysis. So, the bottom line here is
16 over a million years, the conceptualization, in fact, makes
17 little difference.

18 What I'd like to do next is move on and talk
19 briefly about how some of these localized fast flow paths are
20 intended to be incorporated into the next iteration of total
21 system performance assessment. I have three word slides, but
22 probably the best thing to do is to put up this figure and
23 talk to it and the accompanying table, because it's the same
24 information, and, desiring to save a little time, it's
25 probably easier to start here and, I think, try to bring in

1 some of the discussions of the information you heard
2 yesterday, the interpretations of new information that you
3 heard today regarding fast paths.

4 So, let's start with the fact that we know there's
5 precipitation and we know, in fact, precipitation--I think
6 Alan pointed to the fact that precipitation, in fact, is
7 distributed spatially. However, let's, for the sake of
8 argument, assume it's uniformly spatially distributed, but,
9 clearly, it's temporally distributed, and in our assessments,
10 it's temporally distributed in very long time frames due to
11 climate change.

12 The infiltration rate, as Alan pointed out
13 yesterday, varies in space and is quite uncertain. It's
14 quite uncertain with various conceptualizations, various
15 assumptions of degree of ET, the fracture/matrix
16 interactions, et cetera, but, clearly, it varies in space
17 because of the heterogeneous nature of the outcropping units,
18 heterogeneous nature of the thickness of the alluvium, et
19 cetera.

20 The percolation flux--now we're looking here. For
21 the sake of argument, I've called that at the base of the
22 PTn, or the top of the TSw--is based primarily on the results
23 of the averaging that the hydrologic models, whether those
24 models are the LBL/USGS models, or whether those models are
25 the LANL models that you heard this morning. Both of those

1 are going to average and spatially distribute that
2 percolation flux at the base of the PTn, and that spatial
3 distribution will be driven by the conceptualization, be
4 driven by heterogeneities. It'll be driven by the spatial
5 distribution of q_{inf} , infiltrating water amount.

6 We, in performance assessment, not only need the
7 spatial distribution over relatively large areas, which might
8 be driven by these conceptual uncertainties and spatial
9 distributions at the surface, but we, in fact, need it
10 distributed from package to package. We acknowledge that
11 from package to package in the drift, there is variability in
12 the percolation flux, always with the average, if you will,
13 being driven by the average of a particular larger volume of
14 rock, but, locally, we expect it to be variable, and, in
15 fact, probably Dwayne will talk about some observations, in
16 situ observations in other tunnels, in saturated systems
17 where that variability is log-distributed, may be log-
18 normally distributed.

19 Given that local percolation flux, we then have to
20 decide how much stays in the matrix, if you will, and how
21 much could advectively drip or weep, whatever word you want
22 to use, onto the packages. Well, that is done, in this
23 particular case, as it was done in TSPA-93, by the way, by a
24 comparison of the local percolation flux, not averaged
25 percolation flux, but local percolation flux, with the local

1 saturated matrix conductivity of the TSw unit.

2 So, that will give us the likelihood, if you will,
3 and, in fact, the amount and distribution of flux onto the
4 packages. Given that, and we now have advective or
5 diffusive, as the case may be, released from the package EBS
6 once the package EBS--the packages have failed, and water has
7 come in contact with the waste form, et cetera, we then have
8 flow and transport in the remainder of the TSw, the Calico
9 Hills, and, if appropriate, the Prow Path into the water
10 table, and then laterally out.

11 Here, we have a distribution. I think we've heard
12 enough over the last little bit to say there's some component
13 of flow. We don't know exactly what, but some component of
14 flow that seems to be preferentially flowing through local
15 fractured systems, fractured network systems.

16 This distribution here, we say, is very uncertain,
17 clearly, and is highly variable, and that variability and
18 uncertainty is caused by variability in the hydrologic
19 properties. It's variability and uncertainty in the
20 conceptual models, and all of that variability is rolled up,
21 and uncertainty to evaluate the per cent of flow percolation
22 flux, if you will, through the matrix units beneath the
23 packages, and the fractured units beneath the packages.

24 So, in summary, I think the information you've
25 heard yesterday and today seems to confirm that there might

1 be fast paths, although alternative interpretations probably
2 exist, and the fact that they may exist necessitates their
3 direct incorporation into TSPA-type analyses.

4 We expect--and I think probably everybody would
5 agree--that that natural percolation flux beneath the root
6 zone is going to be highly variable, and it is clearly
7 uncertain, and we are trying to accommodate that variability
8 and uncertainty in the TSPA analyses.

9 We have, in the past, evaluated the fast flow
10 transport phenomena. Clearly, it's total effect depends on
11 some of the inherent assumptions when you do the analyses.
12 It can have a positive effect if you really limit the per
13 cent of the waste packages that see advective transport.
14 That's a pretty positive effect, as we saw up there with the
15 WEEPS model, even if you decrease the effective travel time
16 from a total system point of view now. I'm not talking about
17 from a ground-water travel time point of view, and it has,
18 also, potential negative effects, which depend on the
19 transport properties, you know, the matrix diffusion, surface
20 retardation of whatever material might be at that fracture
21 wall, et cetera.

22 We will continue these sensitivity studies in TSPA-
23 95 to evaluate their potential effects, using a more
24 representative EBS environment, which we talked to the Board
25 about in April, but incorporating the variability and

1 uncertainty in this localized fast flow.

2 So, with that, I will conclude my discussion, Pat.

3 DR. DOMENICO: Thank you, Bob. We do have a few
4 minutes, if there's questions.

5 Langmuir; Board?

6 DR. LANGMUIR: Bob, early on, you mentioned that the
7 potential significance of the fast pathways would depend upon
8 the efficiency of any designed in-drift capillary barriers.
9 Those are the words on your overhead.

10 Have you played around with this; in other words,
11 assuming capillary barriers were present. You realize that
12 that has effects on the thermal loading consequences,
13 insulating effects, and so on, but what does that do to the
14 CCDF results you obtain if you put in different kinds of
15 materials with different diffusive properties as backfills?

16 DR. ANDREWS: Yeah. That's the work we're doing right
17 now, in fact. I mean, it has multiple effects. I mean, it
18 has that thermal effect, clearly, and that will impact the
19 package and the degradation of the package, and have a
20 significant impact there, and on that local scale hydrologic
21 environment, which would also impact, you know, waste package
22 EBS releases, you know, is it sufficient or significant? I
23 can't answer that right now. We haven't done those yet.

24 DR. LANGMUIR: You haven't run any simulations yet?
25 We'd love to hear what the results might be. That would be

1 very interesting.

2 DR. ANDREWS: I think we have a Board meeting in October
3 to talk about results.

4 DR. DOMENICO: Ed Cording; Board.

5 DR. CORDING: The composite flow model and the
6 assumption regarding fracture flow, is it being assumed that
7 there's a uniform distribution of fractures, say, in a given
8 stratigraphic unit?

9 DR. ANDREWS: Yes.

10 DR. CORDING: And it changes depending on--

11 DR. ANDREWS: From unit to unit, it changes.

12 DR. CORDING: It changes from unit to unit, and that
13 encountering the waste packages is basically--there is no
14 positioning of waste packages to avoid a fault zone. You're
15 really doing a uniform fracture analysis on that?

16 DR. ANDREWS: Yes. So all the packages see the
17 potential for some localized or fracture transport.

18 DR. CORDING: Then one other question here. You
19 indicate on a couple of the graphs here, you indicate we're
20 looking at the EPA some, complimentary cumulative
21 probabilities. You indicate an increased fracture spacing,
22 and that's showing an increased probability. Is that
23 increased spacing of fractures, or increased frequency of
24 fractures?

25 DR. ANDREWS: Yeah, that's increased spacing, and that's

1 only--not out of respect to the flow, or the likelihood of
2 intercepting packages. It's only used in there as affecting
3 the matrix diffusion, so if I increase the distance between
4 fractures, my effective matrix diffusion is reduced.

5 DR. CORDING: It's only influencing matrix diffusion?

6 DR. ANDREWS: Yeah; not flow or--

7 DR. CORDING: Not encountering waste package or
8 anything?

9 DR. ANDREWS: No.

10 DR. CORDING: Okay. Thank you.

11 DR. PALCIAUSKAS: Just a brief question to see if I
12 understood your statement here. Essentially, if you hold
13 everything constant in your performance assessment
14 computations, then focusing the flow from a composite
15 porosity to a more focused flow basically doesn't really
16 affect--makes things worse over the million-year criterion,
17 but could make it worse over the 10,000 years now, so that's
18 the general characteristic.

19 But what about the degree of focusing? How does
20 that affect performance assessment? In other words, whether
21 you use a very, very broad distribution, or if you use, for
22 example, narrower distributions if there was a characteristic
23 like a sigma that Dwayne keeps talking about. How would the
24 degree of focusing affect your computations?

25 DR. ANDREWS: You mean, the amount of water in a

1 particular feature that might have focused flow?

2 DR. PALCIAUSKAS: Right. The total flux brings the
3 same.

4 DR. ANDREWS: Flow flux is the same.

5 DR. PALCIAUSKAS: Yeah, but the number of fractures
6 being a million, or maybe ten, on a continuous distributions.

7 DR. ANDREWS: Oh, that will have a difference. That
8 definitely has a difference. I mean, right now, from the
9 TSPA-93 results, that probability of intersection was, in
10 fact, a distribution based on--that was directly tied to the
11 total amount of water going through the system.

12 DR. PALCIAUSKAS: So it is an important parameter?

13 DR. ANDREWS: Yeah.

14 DR. DOMENICO: Thank you, Bob.

15 Actually, we're just about on time, probably due to
16 my skill and cunning as a moderator. What the program calls
17 for here is a ten minute break, at which time the group here
18 will reconvene, and we're going to be joined by Dwayne
19 Chesnut, who's going to give us his ideas on incorporating
20 Chlorine-36 data, and we're going to start out with Dwayne
21 because it's always good to start with someone whose views
22 are non-controversial.

23 We'll be joined, also, by Chin Fu Tsang, views on
24 what fast pathways mean to Yucca Mountain. We're going to
25 ask Al Yang to join us, even though nothing will be asked of

1 him, but in the event someone wants some clarification of the
2 information that he presented, and, finally, we have a
3 question for Jeffrey Pohle of the NRC. How does the NRC view
4 fast pathways, are they a problem from the conceptual and
5 modeling viewpoint, and now that Jeffrey has been warned, I
6 suspect he's looking for a fast pathway out of the building.

7 So, we will reconvene in ten minutes.

8 (Whereupon, a break was taken.)

9 DR. DOMENICO: We have reconvened the people at the
10 table, as well as the invited people.

11 At this stage, I'd like to ask Dwayne Chestnut. My
12 sheet says he's going to talk to us about some of his ideas
13 on incorporating Chlorine-36 in alternative performance
14 assessment modeling, but, Dwayne, do whatever you like.

15 DR. CHESNUT: As most of you know, I've been looking at
16 ways of taking some of the more complex models that we have,
17 and the more complex data, and then putting it into what I
18 call a macroscopic view.

19 The idea is to try to roll all this stuff up into a
20 very small number of parameters, which captures things like
21 spatial heterogeneity in some way that we can relate it
22 directly back to something that we can measure, so my whole
23 purpose in this stuff is to try to complement some of the
24 things that are going on with the more complex modeling
25 approaches.

1 Much of this has come out of international program
2 work. I've been working with the data from the SKB Aspo Hard
3 Rock Laboratory, and also have some involvement with NAGRA.

4 I just want to start out, throw this diagram up on
5 the screen. I showed this to Victor yesterday, and he said,
6 "Oh, that's Yvonne's stuff." It's not. This is an
7 experiment. This is real world data, an experiment by Drury
8 and Butters several years ago at Riverside, and what you're
9 looking at here is breakthrough curves on 20 m² centers, a
10 uniform pulse of lithium bromide working its way down through
11 a homogeneous soil.

12 And what this tells me is that heterogeneity is
13 there even when we go to great lengths to make the system
14 uniform. We don't have to worry about fractures. We don't
15 have to worry about all these other complications. We see
16 this kind of behavior, even under conditions when we've got
17 extremely uniform soil properties.

18 In terms of the log normal model that I want to
19 talk about, the sigma here is about .4. You will rarely find
20 anything that uniform in natural rock.

21 The other picture I want to leave in your mind to
22 start with is Chin Fu Tsang and Luis Moreno. This is a
23 simulation run in an extremely heterogeneous, three-
24 dimensional cube, with steady state flow from top to bottom,
25 totally saturated system, and what you're looking at here are

1 the flow pathways that account for 90 per cent of the total
2 flux.

3 If you look at this thing, this is a 20 x 20 x 20
4 cube, the inlet at the top has about 400 places where flow
5 can start. What you see is that most of the flow occurs in
6 about 10 per cent of the channels. These things don't
7 interact much with each other, almost independent channels,
8 so all this stuff about diffusion and all these other things,
9 the interaction, mixing, et cetera, mixing is not a very good
10 mechanism in a heterogeneous system, and we have to take that
11 into account.

12 Now, what I'm showing here is what happens when you
13 increase the degree of heterogeneity in the system, going
14 from a sigma of one for the input distribution, to a sigma of
15 four. Sigma is the standard deviation of the log normal
16 permeability distribution that was used to generate the 20 x
17 20 x 20 cube, so as you increase that, you get more contrast
18 between adjacent elements of the calculation.

19 There is a modest degree of long range correlation
20 in here. Correlation length is about a tenth of the edge of
21 the cube, but the point here is this is a pictorial idea, and
22 think about what happens if I drill a borehole down through a
23 system like this, and I sample it for Chlorine-36 or tritium
24 or bomb pulse stuff.

25 I could easily drill into very young pathway and

1 drill out of it back into a very old pathway. I could do
2 that several times in a single borehole, so that's one
3 picture I want to leave in your mind.

4 Now, in terms of repository performance, what I've
5 been working with is a convolution of a source term, a
6 release from the EBS, and some kind of a ground-water
7 transport function. Under reasonably broad, but not
8 necessarily completely general conditions, we can represent
9 the release to the accessible environment in terms of this
10 convolution integral. Then our problem is, what is the
11 function of time that represents release from the EBS, and
12 what is the function of time that represents transport
13 through the geosphere out to the accessible environment, and
14 how is that affected by all the things that we know are
15 important.

16 So, what I've been specifically working with is
17 using a log normal function to represent that ground-water
18 transport function, and see where it leads us in terms of
19 implications about repository performance, and how we might
20 tie this back into data.

21 So, let me show you some conclusions from some of
22 this stuff. By the way, nothing about this depends on log
23 normality, particularly. I can use another distribution
24 function if you'd like. You can do bimodal, or however many
25 things you think you can identify in terms of data.

1 I'm saying that the release can be bounded. Now,
2 the calculations I'm going to talk about most, I have assumed
3 a regulatory EBS, and that is the generic requirement. So,
4 if I can then identify the site characteristics that I have
5 to combine with that generic requirement, then I have an
6 argument that I can use for how the ground-water travel time
7 function affects radionuclide release.

8 So, we assume that we have that, and then we have a
9 separate problem of showing that the EBS, in fact, is bounded
10 by that function, and we have a lot of work still to be done
11 that those bounds can be met, but if you will give me that
12 kind of an assumption, and then I'm going to use this ground-
13 water transport function.

14 And what I need, I need retardation factors, which
15 we already have from Los Alamos's work, heterogeneity
16 parameter we don't know. We can try to get that from
17 cosmogenic data. Mean ground-water travel time, which
18 basically comes from infiltration studies, percolation
19 measurements, because this model says all this porosity forms
20 a continuum. It may have seven orders of magnitude
21 difference in permeability, but the porosity is all connected
22 and interacts to some degree with each other.

23 I think this is an important point here. Chlorine-
24 36, Carbon-14, possibly some other things, provide the only
25 data we have on the spatial and temporal scale that we care

1 about. We have got to be able to use this data in some way
2 to constrain our transport models, and I'll show you how this
3 works with the log normal transport function, and some of
4 this, I think, will be familiar to some of you.

5 This is what happens if you do a three-dimensional
6 calculation. This is Chin-Fu and Luis Moreno's work. As
7 sigma increases, you go from a sharply-peaked breakthrough
8 curve all the way--well, a sharply-peaked breakthrough curve
9 at very early time, and the mean in every case is one. So,
10 you have not changed the mean breakthrough time. You've
11 merely changed the peak arrival time. The same behavior
12 results if you use an analytic function for a log normal
13 distribution in terms of sigma and the mean.

14 So, what we see from that is that we can get the
15 flavor of fast pathways by increasing sigma. We get
16 progressively earlier first arrival, earlier peak arrival,
17 less effective dilution, because now we're getting stuff
18 coming through at a higher concentration, and this is
19 important: a decreased sensitivity to the retardation
20 factor, because we have less contact efficiency between the
21 contaminated fluid and the rock.

22 So, if we put this together, what does it mean for
23 PA? Bob was seeing this curve. We take a list of
24 radionuclides, we take their inventories, we take the
25 retardation factors, combine all this stuff with an EBS

1 release function, do a convolution integral. I've used a
2 sigma of 2.2 and a mean ground-water travel time of 70,000
3 years, just for an example.

4 The blue curve shows what come out to the
5 accessible environment as a function of which radionuclide.
6 The red curve is what left the EBS. This is a measure with
7 the geosphere in force, and you'll notice that if I normalize
8 on the EPA sum, what comes out of the EBS is about a
9 thousand, and what reaches the accessible environment is
10 about one, for this particular set of parameters. So I can
11 use this to look at individual components of the model, and
12 see what the sensitivity--and one of the things, in this
13 context, we're talking about is mean travel time and sigma.

14 So you can map out a compliance region in the
15 context of this model, everything above the green curve has
16 an EPA sum less than one. Everything below the green curve
17 has an EPA sum greater than one, and would violate the total
18 system release standard. Everything below the red curve
19 would have an EPA sum greater than ten. So, where are
20 problem is, to establish with a probability of .9, we're up
21 in this region, and a probability of less than .001 of being
22 in that region, and that's our compliance problem.

23 What I've plotted here is the mean ground-water
24 travel time versus sigma that will give you exact compliance
25 with the EPA sum.

1 DR. DOMENICO: Dwayne, can we do that on just a point?
2 A question, really. As the heterogeneity increases, the
3 ground-water travel time, of course--

4 DR. CHESNUT: Right. I have to have a much longer mean
5 as the system gets more heterogeneous.

6 DR. DOMENICO: But isn't it also true that the more
7 heterogeneous the system, the more spreading of the mass that
8 you get?

9 DR. CHESNUT: Right.

10 DR. DOMENICO: And lower the concentrations, which may
11 be far more important to ground-water travel time.

12 DR. CHESNUT: You don't get lower concentrations.
13 That's the point of this guy. At some point, your
14 concentrations start to increase again, because only a small
15 percentage of all the possible pore volume is actually
16 contributing to flow, and so you get less dilution. You go
17 through a progressively increasing dilution. It smears out a
18 whole lot in this intermediate region, and then starts to
19 really climb again, so there is a limit in a heterogeneous
20 system to what you can accommodate from dilution.

21 DR. DOMENICO: How are you using the term dilution?

22 DR. CHESNUT: Well, in other words, this is the
23 normalized concentration, so if I'm seeing a peak value up
24 here that cites ten times what it is here in this middle
25 region; in other words, I'll have no dilution. I'll have a

1 normalized breakthrough of one, and, in this case, my peak
2 value, which is my maximum concentration that arrives, maybe
3 even approaches one.

4 DR. DOMENICO: But you're using dilution and dispersion
5 synonymously?

6 DR. CHESNUT: No, no. I'm not even using dispersion. I
7 think dispersion is an outmoded concept. I think it's really
8 dominated by spatial heterogeneity of the flow pathways, and
9 dispersion is just one way of trying to look at the data.
10 So, what I'm proposing, basically, the sigma is the parameter
11 we should be looking at, not the dispersivity. But,
12 basically, you don't get, when you get into these strong
13 heterogeneous systems, you don't get the help from dilution
14 that you might think you would have.

15 Just to show you how these things combine, this
16 upper curve shows the mean travel time versus sigma that I
17 need for compliance. This one shows what happens to the
18 median, the 50th percentile, which is much less sensitive,
19 and the lower one is the mode or peak arrival time, and
20 notice the peak arrival time can get very small, ten years,
21 and that still, again, within the context of the model, can
22 show you compliance with match release.

23 Now, here's where the interesting thing comes in.
24 What do we care about the fast pathways, and how does this
25 relate to the ground-water travel time subsystem standard?

1 What I've plotted here is the fraction of the water that
2 would arrive in less than a thousand years as a function of
3 sigma, with a mean ground-water travel time that complies
4 with the total system performance.

5 So, for relatively homogeneous systems, I can't
6 tolerate much breakthrough in less than a thousand years. As
7 heterogeneity increases, I get up above 30 per cent that I
8 could actually have come through the system in less than a
9 thousand years, with the retardation factors that we think we
10 have, and I can still demonstrate compliance. And then, you
11 get a little fall off as you get to more heterogeneous
12 systems. So, this is, I think, an important point.

13 The fact that we have a significant fraction of the
14 ground-water travel time, less than a thousand years, is not
15 fatal to the repository standard.

16 Now, here's another interesting one. How does this
17 relate to bomb pulse? We know we've seen some bomb pulse, or
18 at least, if you set aside the objections about sampling
19 problems, and so on, we think we've found bomb pulse at
20 various depths, so I'm looking here at a fraction of ground-
21 water travel time of less than 40 years from the surface to
22 the water table, and, again, plotted as a function of sigma,
23 with mean values taken off of the compliance curve.

24 And you'll notice, if I have a sigma less than one,
25 I cannot explain the bomb pulse occurrences and comply with

1 the total system performance. I have to have a fairly
2 heterogeneous system, and by the time I get up into the sigma
3 of around two, I level out to about 1 per cent chance of
4 seeing bomb pulse if I sample, and I think that's kind of the
5 order of magnitude we're looking at.

6 That kind of shows how this connects with
7 performance, and the other question was: How does this
8 connect with cosmogenic tracers? And this kind of takes off
9 on some things that June was talking about earlier. This is
10 a little different way of looking at it, but amounts to a
11 similar thing. We're looking at--when we sample, we're
12 mixing things, and we're seeing things that arrive from
13 different pathways to get to the point where we sampled it,
14 and there's a bunch of parameters in here that, I don't have
15 to go into detail, but the heterogeneity, the sigma.

16 But, on looking at the sampling at some depth at
17 below the surface, the volumetric water content averaging
18 about 10 per cent for Yucca Mountain, average infiltration
19 rate--and I've just simply taken Alan's site-wide average of
20 1.4 mm/y, retardation for Chlorine-36 and Carbon-14 is more
21 or less one. We could argue about that a little bit, and
22 we're assuming cosmogenic input at a constant, steady rate,
23 which we've seen some data. It may not be a good assumption,
24 but you can do this for any signal that you want.

25 What you find is that the two parameters that

1 matter are sigma and this parameter I call beta, which is the
2 ratio of one over the mean travel time times the decay
3 constant for the radionuclide species, or you can look at it
4 as a ratio of decay time over advective transport piston-like
5 system, and this is what gets interesting.

6 Here, I've plotted these things up as histograms.
7 If I were sampling and putting the concentration, the
8 normalized concentration measurements in a bunch of buckets
9 at .05 intervals, so I have everything that would fall
10 between .95 and 1 assigned to this bar, and so on, and I look
11 at what I would observe if I were to go sample,
12 systematically, at 20 meters depth, the parameters I've put
13 in give me a mean travel time of a little over 1400 years.

14 The Carbon-14 is fairly sharply peak, and it's
15 around B^{-1} over beta for Carbon-14. I have piston-like flow,
16 for all practical purposes. I don't see much on Chlorine-36,
17 because nothing's decayed, and as I go deeper, the Carbon-14
18 pulse moves to the left, as you would hope, and I start
19 barely getting into the point where I might be able to see
20 something on Chlorine-36, but not really. And then, finally,
21 I get to the long time of the order of 50,000 years. I can
22 start to see some decay.

23 Now, that's what would happen if the system were
24 homogeneous, or relatively homogeneous. What happens if I
25 put in a typical value for heterogeneity in a porous medium?

1 This happens to be a number close to what I've seen work for
2 water-flooding in petroleum reservoirs. You don't have
3 fractures, just have heterogeneous permeability and matrix
4 permeability distribution.

5 Now look what happens. My Carbon-14 age, if you
6 want to look at it that way, or per cent modern carbon
7 spreads out all over the place. I have a much broader
8 distribution of apparent Carbon-14, and at 20 meters depth, I
9 still don't see much from the Chlorine-36, but as I go
10 deeper, I start to get broader distributions, and I can start
11 to see some overlap in these things if I continue to more
12 heterogeneous systems.

13 And here's what happens if I put in a value of
14 sigma that is characteristic of the STRIPA inflow experiment
15 with a log normal of about 1.6, and look what happens to my
16 Carbon-14. I have almost equal chance of finding any Carbon-
17 14 age, and I would even see some water that is old enough to
18 have decayed significantly for Chlorine-36, even at 20
19 meters. And as I go deeper, I get broader and broader
20 distribution.

21 So, the point of this is that there's a chance, by
22 using some form of this analysis, to go back and start
23 systematically looking at Chlorine-36/Carbon-14 data. In
24 addition, this simple two-parameter model on the last 100,000
25 years of geology and climatology, and so on, and use that for

1 a forward prediction of repository performance.

2 DR. DOMENICO: Questions from the Board. Don Langmuir?

3 DR. LANGMUIR: Dwayne, doesn't this argue for--June may
4 not appreciate this, but doesn't this argue for lots more
5 data? You don't have enough information with spots here and
6 there to generate a distribution of a--just to suggest this
7 model is working unless you've got lots of data; right?

8 DR. CHESNUT: Yes. If you wanted to use this approach
9 to try to get parameters that you could apply on a site
10 scale, you would need a lot more Chlorine-36 and a lot more
11 Carbon-14 and other kinds of measurements. It doesn't mean
12 we necessarily need more samples. June still has a backlog
13 of several hundred, but I think it does mean that we would
14 need data and analyze it carefully.

15 Now, one real opportunity for this is in the ESF
16 main tunnel, because there we're going to be essentially at a
17 constant stratigraphic level, and we could go systematically
18 down the tunnel if we can find a way to get around the
19 contamination from the construction water, which is a
20 question that has to be looked at.

21 DR. FABRYKA-MARTIN: Could I add, also, this not only
22 requires more data, but corrected data in the case of
23 Chlorine-36.

24 DR. CHESNUT: Yes.

25 DR. FABRYKA-MARTIN: I mean, Al's data, even

1 uncorrected, are useful enough because I don't think the
2 correction factor is going to make that dramatic of a change
3 in interpretation on a qualitative scale, but for Chlorine-
4 36, it could make a major difference.

5 DR. DOMENICO: For the record, that was June Fabryka-
6 Martin. We have to identify these things.

7 Well, thank you very much.

8 DR. LANGMUIR: Could I ask one last one, Dwayne, that
9 requires one word or so?

10 DR. DOMENICO: Langmuir.

11 DR. LANGMUIR: What is your judgment now as to the
12 sigmas that would apply, or the range of sigmas that apply to
13 Yucca Mountain?

14 DR. CHESNUT: Okay. The only thing I have is a large-
15 block test, which is about 3.2 from permeability
16 measurements, which is a very small scale. I have the
17 saturated zone pump test data from the Calico Hills, which is
18 a sigma of 2.2, and that's about all we have, except for the
19 data that Gary LaCain has on air permeability measurements,
20 which may have a problem with drilling damage and skin
21 factors, so we're not too sure at this point.

22 My guess would be, my gut feeling is we're looking
23 at a value of somewhere in the neighborhood of two.

24 DR. DOMENICO: Is sigma Fickian? That is, is it--

25 DR. CHESNUT: I do not know, and that's the other thing

1 about--this never approaches Fickian limit in this model. It
2 gives you stuff that is a lot like what Yvonne was talking
3 about, where dispersivity goes, continuously increases as you
4 get larger scale.

5 DR. DOMENICO: Andy, did you have a point here?

6 DR. WOLFSBERG: Andy Wolfsberg, Los Alamos.

7 Dwayne, you stated that the diffusion for this type
8 of model is not a significant component for mixing, and I can
9 see from your cube model why you say that, but do you factor
10 diffusion into these retardation factors?

11 DR. CHESNUT: That's a good question. What I've found
12 in the past, where I've tried to take into account effects
13 like diffusion, is that they can be accounted for by slight
14 adjustments of the parameters, either in the retardation
15 factor, or in sigma, and possibly in the mean. So, what you
16 can do is take the complicated model, with all the right
17 physics, put in the spatial heterogeneity, like Yvonne has
18 done, look at the breakthrough curves, back-fit this thing to
19 get the parameters for the simple model, which is sort of the
20 same process Yvonne used, only she was fitting the advective
21 conversion equation.

22 In fact, the same process I went through in a paper
23 on high-level waste last year, of showing how you could take
24 a breakthrough curve and fit it with either model, but it's a
25 good point, because you can, I think, start to get some

1 judgment about how important these other effects are.

2 DR. WOLFSBERG: It seems appropriate to me that you
3 wouldn't put the diffusion into your sigma. I mean, that
4 sigma function is complicated enough that I don't think you
5 want to, in a sense, contaminate it with that. But I guess
6 you could put it into the retardation factor, but then for
7 your Chlorine-36 and Carbon-14, it may change drastically
8 from the number one that you were citing.

9 I mean, this is the first time I've really thought
10 about this thing, so...

11 DR. CHESNUT: I think the only way to answer that
12 question is to start doing some detailed models with the
13 physics in there, plus a heterogeneous spatial distribution
14 of permeability and see what it does to breakthrough curves.
15 That would be my suggestion.

16 DR. DOMENICO: Thank you.

17 DR. TSANG: Yvonne Tsang.

18 I want to add to this matter of the matrix
19 diffusion. I think there are two factors. I don't think
20 it's a matter of sigma. If you do not allow the interaction
21 between matrix and fracture, you escape matrix diffusion
22 altogether, that's one thing. But if you do have matrix
23 diffusion, matrix diffusion will wipe out heterogeneity in
24 the sense of the tailing. It's a much slower process, but it
25 would not interfere with the spatial variability.

1 DR. CHESNUT: You're looking at it from a different
2 point of view. I'm looking at it from, what does it do to
3 the breakthrough curve, and what do I have to do to match the
4 breakthrough curve?

5 Now, the only real experiment I can tell you about
6 is in a case of water-flooding, where I have a stratified,
7 layered system, but I allow cross-flow between the layers.
8 The analogous process is capillary imbibition from high water
9 saturation to low water saturation, with imbibition of, or
10 counter-flow of oil back into the water layer.

11 When you look at that, what it does is make the
12 system look more uniform, reduces sigma, so I think that's
13 what I would expect.

14 DR. DOMENICO: As the moderator, I'm going to make one
15 final statement and close you off, my dear.

16 Every bit of hydrologic information collected in
17 the field is, by its very nature, three-dimensional. There's
18 no question of three-dimensional movement. Things spread in
19 three dimensions, and I still say that when you apply N
20 dimensional data to an N minus one dimensional model, you're
21 going to get non-Fickian behavior, or what we call scaling
22 effects that never reach--

23 DR. CHESNUT: Okay, I would agree with that.

24 DR. DOMENICO: I don't know if that has any relevance to
25 what we've been talking about here.

1 DR. CHESNUT: But I would also point out that field data
2 look like they're non-Fickian.

3 DR. TSANG: But in my calculation, Fickian limit is
4 reached when you don't have the long-range correlation. When
5 I have a isotropic heterogeneous system, Fickian limit is
6 reached very soon.

7 DR. DOMENICO: That may approach the one-dimensional
8 assumption.

9 Okay, let's move forward. Chin-Fu Tsang is going
10 to talk to us, according to my sheet here, about what fast
11 pathways mean for Yucca Mountain. Have I got that right? Or
12 data needs and characterization.

13 DR. C. TSANG: Thank you. I think Dwayne gave a very
14 good talk. There's a need, really, to look at sigmas, and
15 also, concerning the retardation, there's a couple of recent
16 work which look at retardation on the local level and see how
17 they relate to transport through a heterogeneous medium as a
18 whole. It is not a simple translation from a local
19 retardation to a global one, where you have heterogeneity.
20 There's a paper by Norquist, and co-authors, and also one of
21 --.

22 I prepare only one viewgraph. I have to apologize
23 to Rally. I was writing my viewgraph when Rally was talking.
24 I just want to make some general comments.

25 First of all, I will say I would like to make

1 comment on long reactive flow in transport. I sort of like
2 to divide this into long reactive and reactive, because
3 reactive is very complicated, but it's not so good to divide
4 flow and separate from transport. They really go together.
5 You cannot divide them.

6 Then, I would like to make comment, when we talk of
7 fast path, there could be several kinds of fast paths. They
8 are not the same. The first one is that fast because you
9 have fractures or layering in --. These are kind of dramatic
10 effects, and so you worry about the fracture flow and spatial
11 flow features of that, and this is something where you look
12 at a geological system and say, "Ah-ha, here is a path going
13 through."

14 The second one is the fast path due to
15 heterogeneity. That's what Moreno and I, and also Dwayne
16 were talking about. Even though when you look at the block
17 of geological material, you cannot see particular cracks
18 going through, but, nevertheless, when you apply a potential
19 difference across the heterogeneous block, the flow will look
20 for the path of least resistance, and that will form
21 channeling, and that was a result of Moreno and myself.

22 Finally, there is a difference between saturation
23 fingering, which means when you, say, have a ponding water on
24 top, and how the water go down your unsaturated system. A
25 lot of experiments, such as Bob Glass experiment at Sandia,

1 shows strong fingering of such, in fact.

2 On the other side is even if the flow is not
3 fingered, you know, say you have a unsaturated block with
4 variations of .3 saturation or .7 saturation, the flow is
5 spread all over. Nevertheless, when you look at a tracer
6 transport, you will see channel, in fact, and characteristic
7 which will occur at a sharp rise and a long tail, so it's
8 useful for us to distinguish among these.

9 Then the next question is what are the prediction
10 needs? I thought maybe we should indicate the prediction
11 needs, and then the next one would be data needs.

12 Of course, one is very interested in the frequency
13 or channel spacing. One is interested in the quantity of
14 water in tracer coming in, and one is interested in
15 breakthrough curves, which is very different from the usual
16 breakthrough curves. Then, the next thing is that one has to
17 get used to the concept of probabilistic predictions. It is
18 no longer a simple prediction of the mean value.

19 Like Dwayne was demonstrating, a number of
20 applications, you really need to indicate a prediction with
21 the uncertainty range. I think Yvonne, in her talk, also
22 indicated that, and so one would be interested to know how
23 the mean transport, as well as the uncertainty depends on
24 conceptual model, depends on parameters, depends on
25 everything else. So, it is a important concept.

1 In that respect, also, then, what is the predictive
2 quantity you want to look at, whether it be point or
3 integrated quantities. I think Yvonne demonstrated a big
4 difference in the two.

5 As far as the fact that we do not know the medium
6 in great detail in a deterministic sense. There is some
7 intrinsic ignorance. We have to take that into account. If
8 we know everything in detail, you'd be poking Yucca Mountain
9 like a Swiss cheese. That does not help the system. So, we
10 have to know what is the prediction measure for quantities.

11 So, now, some comment about data needs. For the
12 fast path related with fractures, then, of course, we need to
13 know the geometric factors; where are the fractures, where
14 are the major faults? Of course, even that does not really
15 tell you flow and transport, because, as we all know, that
16 most fractures are really not conducting. Usual, in the
17 saturated rocks, only about 20 per cent conducts, and so even
18 in the flow system, you still have heterogeneity you have to
19 worry about.

20 Then, for the second kind of fast path due to
21 heterogeneity, you need to know the distribution of the
22 permeability of a system. You need to know the sigma, which
23 is within this distribution, and you also need to know the
24 permeability curve that's a function of saturation, and also
25 the porosity variations, and all the other characteristics

1 for capillary effects. So you need to know them, and our
2 hope is that by studying this, one hopefully can come up with
3 some lump parameters.

4 The usual unsaturated flow, when you have a
5 characteristic curve, you should assume a homogeneous porous
6 medium. Now when you have heterogeneous medium, it's
7 important to relate the local properties with the global
8 properties, how do you put them together.

9 Then, of course, a sensitivity study on conceptual
10 model characteristics, we need to know what is important.
11 One interesting thing from Yvonne's talk is that if you are
12 looking at the predictions of a integrated quantity,
13 actually, it's not very sensitive to the fractures, the 10
14 per cent of the fractures. The breakthrough curve in the
15 integrated quantities are all in the same range of arrival
16 time, and so on, so maybe details different. So that kind of
17 study is very important for us to know what is really needed
18 measured.

19 The last one is that I think it's quite useful to
20 study the saturated cases and that would teach us how to
21 handle unsaturated cases. One cannot just study unsaturated
22 by itself, without understanding how the saturated system
23 goes.

24 We are just doing some investigation, for example,
25 when you have saturated system, the channels, the solute flow

1 paths search for the largest part of the permeability curves,
2 and then we try to study a different saturation value, is at
3 1, .7, .5, .3 in liquid saturation. It's quite interesting,
4 because, like Joe Wang pointed out before, when you have
5 unsaturated system, the liquid flow try to avoid the larger
6 porosity, so the sampling of the different saturation is
7 different regions in the permeability distributions, so we
8 try to quantify that. So, it's a interesting--what we learn
9 can be applied.

10 Just one more thing I want to add here, is about
11 data needs, is since the system heterogeneous, it is
12 extremely important to have a proper measurement of boundary
13 conditions. If you look at the infiltration over Yucca
14 Mountain, if you only have a few measurement, but can that
15 represent the average infiltration over the whole surface in
16 Yucca Mountain. If the system is heterogeneous, your
17 measurement might not be able to give you the average value,
18 so it's important. And then the next question is, what is
19 the uncertainty of the boundary conditions?

20 Finally, I think there is an absolute need for
21 observations. One would think, "Look, there's a lot of data
22 needs," but with the ESF, we'll have a great opportunity to
23 satisfy the data needs. ESF represents a tunnel, cover the
24 whole mountain of tens of miles, so there's a lot of surfaces
25 exposed to us, and there are many experiments. So, the

1 important thing is to look at the ESF at different experiment
2 and study plan, not as individual pieces, but together, and
3 say, with all the experiments, can we give a feeling about
4 the mean and standard -- system.

5 Then you go and look at the observation directly
6 and say, where are the channels coming out, and does that
7 correspond to the spread that you expect from the model
8 calculations? And then you can ask the next question, the
9 points versus integrated quantities that Yvonne was talking
10 about.

11 Instead of trying to predict individual points
12 where the flow comes out, can we just map a ceiling of the
13 ESF as a integrated quantity, say, 100 meters by two or three
14 meters diameter. And so, one can make that kind of study,
15 and, of course, the ESF is going to Topopah Spring, and the
16 ESF at Calico Hills under the repository horizon. Joe Wang
17 and Nevill Cook have given a lot of thought to a design of an
18 experiment in that system.

19 The only other point I want to mention is that
20 since the ESF is there over a period of a few years, let's
21 try to see whether the fast flow change over time. Suppose
22 you have a lot of rainfall one year, how would that change?
23 I think that extremely important and interesting information.

24 That's all the comments I have.

25 DR. DOMENICO: Well, thank you very much.

1 Is there a question from Board members, or the
2 people at the table; staff?

3 DR. PALCIAUSKAS: I'm not sure if it's a question, but a
4 certainly a comment on one of your points here. In fact,
5 it's closely tied in with what Rally had put on Slides 10 and
6 11. I was going to ask him, and it's the fact that you need
7 both the median and the sigma.

8 As Rally showed quite nicely, the long range travel
9 times are very well defined, but the very short travel times
10 really depend on the correlation of the highly permeability
11 units, and that really means knowing sigma to a very accurate
12 degree, which is probably the least defined part of the
13 ground-water travel time computation. Yet, it's the one that
14 is being regulated the most.

15 Rally, you showed, basically, there were two
16 conceptual models, both give very different short travel
17 times, but they both showed very similar distributions. So
18 this is a very, very important part of the ground-water
19 travel time. The conceptual models, as you intimated, lead
20 to very, very different distributions of ground-water travel
21 times. How are you going to approach that problem?

22 DR. C. TSANG: I think I'll give it a try, and then you
23 can pick up my pieces.

24 One of the hope I have is that if one know the
25 permeability distribution and sigma, and some information

1 about the correlation length. We hope that we can give a
2 probabilistic answer to that.

3 Now, then, in this whole system, there is a very
4 interesting similarity between scales. It probably behaves
5 better than the usual situation. In other words, if you look
6 at transport and flow transport block of Scale L, then the
7 chance of the correlation length within that scale is
8 probably about 10 or 20 per cent. If you look at a bigger
9 thing, the correlation length is still about 10 or 20 per
10 cent. This is sort of related with Shlomo Neuman's universal
11 scale, all the fancy things.

12 Then, the other parameter is the variations of it.
13 Now, so, hopefully, if we can understand our system in a
14 smaller scale, say, even ESF scale, which is by no means
15 small. ESF scale is probably a factor of two or three
16 smaller than the performance assessment scale. Suppose you
17 can understand that, I have fairly good confidence we can
18 scale up in the same probabilistic sense.

19 DR. BARNARD: I think we need to keep this in
20 perspective, Victor, because what this is, is clearly a
21 model, and a model is not reality, and the model is an
22 abstraction--I should say that our models are abstractions of
23 what other people are doing, which may be even more detailed.

24 So, what I have shown are two different examples,
25 one of which may be intellectually more satisfying than

1 another for the purposes of evaluating fast paths, but I
2 don't think we can say which one is right, even. We can't
3 even say that the assumptions that we made about this;
4 namely, the heterogeneity, for example, that was used, is
5 correct.

6 However, all we can do is to use these and
7 recognize that they are covering a range of behaviors, and
8 hope that without making any judgments about which one of the
9 models is the right one, if there is one, that we have
10 covered sufficient amount of the range of behaviors that we
11 can have confidence that what we are modeling is going to be
12 reflective of reality.

13 Susan, did you want to say something, also? This
14 is Susan Altman, one of the PIs working on the ground-water
15 travel time effort at Sandia.

16 DR. ALTMAN: I mean, for now, with the ground-water
17 travel times, we're going to running both advective continuum
18 and dual permeabilities, and we're going to have two separate
19 distributions, and until we do multiple realizations, we
20 can't really, you know, we'll be looking at -- and the sigma
21 for each separate conceptual model of multiple realizations.

22 In terms of the hydrologic properties, we are
23 incorporating sigma for each separate unit, and adding that
24 to the heterogeneity of our models.

25 DR. DOMENICO: Thank you, Susan.

1 On ground-water travel time, let me ask a question
2 of Rally before we ask a major question of Jeffrey. I think
3 I heard you say we don't know what pre-emplacment ground-
4 water travel time is and a lot of folks never did like that,
5 but we know what it was introduced to. We had nine sites and
6 you had to make some distinctions, but the concept has stayed
7 with us, and now I think I heard you say something about
8 working with NRC on post-emplacment ground-water travel
9 time.

10 It seems to me that that could give a lot of
11 credibility to the concept of a ground-water travel time that
12 we really don't need, I think, and it would be good if we
13 could shed even the idea of a pre-emplacment. Is this an
14 NRC request of you, or is this--how do you feel about that?

15 DR. BARNARD: Let me make a few comments, and Jeff can
16 correct me, then.

17 The concept of pre-emplacment ground-water travel
18 time, as I understand it, was an attempt to be the suspenders
19 to go with the belt of the total system release concept; in
20 other words, it was a secondary, supposedly independent
21 measure of the ability of the site to contain radioactive
22 waste. And so, for that reason, the point is, well, once
23 you've made your system, you attempted to satisfy the system
24 regulation, there was then this subsystem regulation.

25 There was concern that the subsystem regulation

1 could be misapplied because of the process of putting in a
2 repository that could change in such a way that you weren't
3 making a valid measurement of the ability of the site to
4 contain waste, and so that's where this disturbed zone came
5 from. As I say, it's a very metaphysical concept when you
6 look at a post-waste emplacement construct on pre-waste
7 emplacement regulation.

8 So, the NRC staff, at the December technical
9 exchange that we had, came up with kind of an innovative
10 idea, and that is to say they, too, don't like the concept of
11 the disturbed zone, so why don't we make a comparison between
12 a post-waste emplacement ground-water travel time with a pre-
13 waste emplacement ground-water travel time, and if they're
14 the same, then there is no disturbance, no disturbed zone
15 that you have to consider.

16 The ellipses in that sentence is if they aren't the
17 same, what are you going to do? And so, that's part of the
18 problem that we have been looking at.

19 Whether ground-water travel time, as a subsystem
20 regulation, is something that we should pursue is not for us
21 foot soldiers to say at all, but, if people decide that it is
22 not a worthy regulation to continue, I don't think that there
23 is very much work that we've done which will go down the
24 great conduit in the ground. We've really done a lot of
25 work, and it will be appropriate for total system performance

1 assessment aqueous analyses, and so, from that standpoint,
2 there won't be much lost.

3 DR. DOMENICO: That's a good answer, that's a good
4 answer.

5 DR. BARNARD: Good.

6 DR. DOMENICO: But the point is, when I heard post-
7 emplacement, good heavens, I mean, I thought that we were
8 taking the concept of the ground-water travel time a little
9 bit too seriously, but I understand.

10 DR. BARNARD: Yes. It's only to avoid trying to explain
11 away some very difficult conceptual concepts for pre-waste
12 emplacement when you have to worry about thermal effects, and
13 that sort of stuff; chemical effects, and a lot of stuff that
14 becomes very nasty to try to evaluate, especially in terms of
15 what the likely processes are that are a consequence of
16 thermal effects that aren't necessarily appropriate to pre-
17 waste emplacement processes.

18 DR. DOMENICO: Okay. Let's get to Jeffrey and ask, how
19 does the NRC feel about the fast pathways, if we now know
20 what they are, and are they a problem from a conceptual and
21 modeling viewpoint? This is Jeffrey Pohle, NRC.

22 DR. POHLE: Let me rephrase your question into something
23 that, perhaps, I can answer.

24 Our interest, I think, in fast pathways is somewhat
25 like your meeting has been organized here this week; that is,

1 one, from a performance assessment perspective, and how fast
2 paths relate ultimately to a dose calculation or some release
3 calculation based on the EPA standard, and our other interest
4 is from the site characterization perspective, which Tom got
5 into some of our research in that area yesterday.

6 So, at this point, it seems in the presentations
7 I've seen, that fast paths could be a factor in dose
8 computations. It may be positive, it may be negative,
9 perhaps, and it remains to be seen, and, other than that,
10 there's not much one can say. You know, what is the answer
11 for Yucca Mountain? I have no idea, but I just don't know
12 how else to attempt to answer your question.

13 DR. DOMENICO: You say it may be significant with dose
14 computations, so, does that mean that--

15 DR. POHLE: I was referring to, I think, the
16 presentations given here today that said that there could be
17 a sensitivity to it, depending on a number of other factors.
18 Being that that's a question, it's a question that would
19 need to be addressed. That would be the NRC's ultimate
20 interest.

21 DR. LANGMUIR: Pat, could I ask a related question,
22 which, Rally, in his overheads, on the last page of the
23 overheads, I believe it was, the evaluation of post-
24 emplacement and pre-waste emplacement travel times suggested
25 by the NRC staff as a method to avoid calculating in

1 disturbed zone.

2 How can we avoid calculating in disturbed zone if
3 it's in the regulations that we must define one and use it as
4 the starting point for travel time calculations?

5 DR. POHLE: I wish I would have brought that with me. I
6 can supply you with the presentation we made at the ACNW.
7 Essentially, a point of view I gave both at our last
8 technical exchange with DOE, and to our own ACNW was that it
9 seemed to me that we didn't need to emphasize trying to draw
10 this line in the sand, that this is the disturbed zone here,
11 and, somehow, that conditions beyond this zone are unchanged
12 as a result of repository construction and the effects of the
13 emplaced waste heat.

14 I think the effects may be very widespread, but
15 they might not be significant, and significant is an
16 important word in the very definition of the disturbed zone,
17 so what I set about to do is, essentially, to try and define
18 what a significant effect was.

19 And so, my thinking was that if we evaluated
20 ground-water flow in a post-waste emplacement environment and
21 looked at the travel times, and if they were not
22 significantly reduced from the pre-waste emplacement state,
23 that there is no significant disturbance, or no significant
24 disturbed zone in the context as it was defined in Part 60,
25 as related to ground-water travel time. It doesn't make any

1 difference. It didn't negatively affect the site in terms of
2 ground-water flow, so, hence, don't worry about it.

3 DR. LANGMUIR: Then you're defining your travel time,
4 ignoring the existence of a zone called a disturbed zone,
5 because you're going to start the calculation from the waste;
6 right?

7 DR. POHLE: From the edge of the repository, not
8 ignoring the disturbances that take place, but merely saying
9 if those disturbances are not significant, they do not
10 significantly affect ground-water flow via the definition of
11 the disturbed zone, we can say it does not exist, or it is
12 coincident, for convenience, with the edge of the repository.

13 DR. LANGMUIR: I think I, for one--and I think some
14 other Board members--would love to see the disturbed zone go
15 away and have a calculation of travel time be taken from the
16 waste.

17 DR. POHLE: Well, if your focus is on the effect on
18 ground-water flow of the repository, in effect, you know,
19 that's what happens. You're looking at the processes, and
20 not to some arbitrary line in the sand.

21 DR. BARNARD: This is Rally Barnard again. Let me just
22 amplify on Jeff's position.

23 We consider that we would defining a disturbed zone
24 for the purposes of meeting a regulation by performance, you
25 could say. If the performance is such that there is no

1 effect, then you have defined the disturbed zone. It happens
2 to be coincident with the edge of the repository.

3 If, on the other hand, as a result of our scenario
4 analysis, and as a result of our calculations, we determine
5 that there is a finite volume that we have to consider, such
6 as even the mechanically-disturbed volume caused by driving a
7 tunnel-boring machine through, then that would be what we
8 could define as a disturbed zone; again, based on its
9 performance that it has on the pre- and post-, particularly
10 the post-waste emplacement calculation.

11 So, it avoids making an arbitrary decision, drawing
12 on expert opinion, if you will, to come up with something a
13 priori, but to find out what the results are as a result of
14 your calculation, and kind of backing your way into it for
15 regulatory purposes.

16 DR. DOMENICO: Bob, I have a question for you. In a
17 sense, you're also doing performance assessment, but are you
18 happy with the fact that fast pathways have emerged as
19 something that we should be concerned with in performance
20 assessment? In terms of the modeling that you've been doing
21 over the years, we haven't been too concerned about fast
22 pathways before, but we're concerned about mass release,
23 we're concerned about concentrations.

24 What does this do to performance assessment in
25 terms of trying to address everything now that some people

1 think becomes very, very important in the program? You know,
2 next year, it may be something else, but how does that change
3 your approach to performance assessment?

4 DR. ANDREWS: I don't think it's a new concept at all,
5 even in this project. I think it's been recognized, even in
6 SCP days. I think one of the speakers, even yesterday,
7 alluded to that fact. The identification and quantification
8 of it, clearly, I think everybody would acknowledge, is very
9 uncertain, and probably highly variable, and the predictive
10 ability of that will also be uncertain.

11 I think the consequences of it--one of the things I
12 tried to point out, clearly, is it's somewhat dependent on
13 the time frame that we're looking at, which we don't really
14 have a good handle on right now. We're still, of course,
15 waiting for the NAS panel recommendations to come out, and
16 EPA to decide how to implement those. That makes a
17 difference.

18 You know, over the million-year time period, there
19 is no significance of fast paths. What comes out, comes out,
20 if you will. We don't have million-year packages. We don't
21 have million-year travel times, even in anybody's best
22 estimates, so the time period is clearly important.

23 The type of standard, I think Yvonne alluded to it.
24 You know, when you start integrating over space, perhaps you
25 have a little more robust solution than when you look at a

1 discrete point in space, which would be a concentration-type
2 standard or a dose-type standard. That makes a difference,
3 clearly, also.

4 But in terms of how we do performance assessment,
5 and how we incorporate localized flow or fast flow in
6 performance assessment, it's not a significant issue. I
7 mean, clearly, it impacts performance, but it's not
8 significant in how we approach and do performance assessment.

9 DR. DOMENICO: Are there any other questions from the
10 Board? Ed Cording?

11 DR. CORDING: To just go back to some comments
12 previously, Dwayne was talking about the Chlorine-36
13 observations or measurements in the ESF, and I was just
14 wondering if, at this point, you have--you're satisfied with
15 the program, if you have a program where you're going to--
16 it's set up so that you're going to get the type of samples
17 or type of data you need as you go through the ESF so that
18 you can get great sections across various structures and away
19 from structures to get some feel for the distributions there;
20 Chlorine-36, degree of saturation, those sorts of...

21 DR. CHESNUT: I think I have give that question to June,
22 because I'm not involved with the actual experimental
23 investigation.

24 My impression is that we could use more data of
25 that kind if we believe this has some merit for getting us a

1 site scale transport model.

2 DR. FABRYKA-MARTIN: There is no question about it. We
3 do need more data, and for the ESF sampling, what's currently
4 in the sampling plan for the ESF is every stratigraphic unit
5 gets sampled at least twice. Where the unit is thick,
6 there's a sample to be collected--I forget if it's every 50
7 or else every 100 meters, and, also, sample every feature
8 that--every contact and every feature that might potentially
9 be a transport path or flow path for water, such as
10 fractures.

11 And I might say that the Bureau of Rec, who's
12 collecting the samples, is going at the sample collection
13 with a vengeance. Even in the first, oh, I guess, what is
14 it, 1600 meters they're into the mountain, they have well
15 over 100 samples--well, I would say on the order of 100
16 samples, I would guess, for Chlorine-36, although I'm not
17 sure on that. Just Bow Ridge Fault alone, they collected--
18 that's a two meter wide feature there--they collected 15
19 samples for me.

20 DR. CORDING: Are they collecting them so that they're
21 getting them with some distance away, so you can see some of
22 that variation that may be taking place away from major
23 structures, as well?

24 DR. FABRYKA-MARTIN: Right, right, both intact matrix,
25 as well as the feature of interest. Where they do collect at

1 a possible flow path, such as a fractured region, I've asked
2 them to collect a sample from the unfractured matrix block in
3 the vicinity of that sample.

4 DR. CHESNUT: I think there's a couple things that come
5 out of my analysis. One is that it's important to look at
6 the ones that don't have any signal, because those are part
7 of the statistics. The other thing is, sampling that we
8 would see with the frequency of about 1 per cent may be
9 important to discriminate. In other words, we need enough
10 samples to be able to tie down 1 per cent tails of some of
11 these distributions, and that, I think, needs to be looked at
12 as a statistical problem, what sample frequency would be
13 required to achieve some accuracy in the parameters.

14 DR. CORDING: I think in looking at those things, you
15 know, people discuss why do we need detailed mapping of
16 fractures, but you need to get some perspective of the
17 characteristics of the fracture systems and stratigraphy as
18 it applies to your measurements, and I think that helps you
19 develop a model, a better model for the site, and however you
20 apply the statistics to that, I think, is you start to--
21 you're going to start to see some patterns that, I think, are
22 going to be extremely helpful in trying to look at the site
23 scale behavior.

24 But the other part of it, I guess, was the question
25 on the quality of the samples. Is the quality of the samples

1 such that you're going to get measurements you feel are good
2 measurements, uncontaminated measurements of these
3 conditions, or--

4 DR. FABRYKA-MARTIN: Have you been reading my monthly
5 report?

6 DR. CORDING: No, I haven't, but are you getting the
7 sort of thing that you feel really give you what you need, or
8 is there something, some other modifications you're making to
9 the process?

10 DR. FABRYKA-MARTIN: I did have to contact the Bureau of
11 Rec. So far, I haven't done any Chlorine-36 analyses of the
12 ESF samples, but I did do bromide/chloride analyses to look
13 for any evidence for tracer contamination of the samples.

14 What they do is, they spray the walls down with
15 what's supposed to be a fine mist of water before they map
16 the walls, and that water is J-13 water labeled with about 20
17 part per million bromide, and the natural background for
18 bromide would be far less than one part per million.

19 The first samples I asked for from them was the
20 first suite they collected across the Bow Ridge Fault. When
21 I leached those samples and measured bromide/chloride, it was
22 clear that at least half those samples had strong evidence of
23 a tracer presence, so I warned them about that, and they went
24 back and collected a second suite, this time, digging back
25 farther into the wall, so I haven't received that suite yet

1 from the sample management facility, so, yes, we do have to
2 modify.

3 It's very important, I think, for all the PIs to go
4 out there occasionally, meet with the sample collectors in
5 the field, and walk through the procedure with them so there
6 is no misunderstanding. In fact, not only did I modify the
7 collection criteria for that particular set of samples, but I
8 modify and clarify a lot of the criteria that I had thought
9 originally were unambiguous, of course, but there's always
10 room for uncertainty.

11 DR. CORDING: There may be some modifications to the way
12 they wash the walls down, whether they wash them down before
13 they take a sample. I know they're trying to map as they go,
14 but, also, whether you go in and do some dry coring to some
15 depth, where you can get something that's less disturbed.

16 DR. FABRYKA-MARTIN: Dry coring might be my preference,
17 but...

18 DR. CORDING: Those are all things that, I think, need
19 to be thought of, because, to me, this is a very major part
20 of why this ESF is there.

21 DR. FABRYKA-MARTIN: Right, and it's very timely, I
22 think, that you even bring up this issue at all, because as I
23 understand it from a conversation I had last week, in the
24 interest to save costs and budget, the whole collection
25 procedure, the consolidated sample collection plan for the

1 ESF is being looked at very closely, and there's concern that
2 PIs are asking for too many samples.

3 DR. LANGMUIR: I have a concern, here, too, practically,
4 and my understanding is that you've got tremendous backlogs
5 of samples to do Chlorine-36 on from the surface-based
6 testing work sampling cores.

7 I learned from Dwayne the other day that Livermore
8 has the capability of doing the same Chlorine-36 analyses
9 that you can do. Is the issue one of money? Is there just
10 one of you doing the work? Would it help to get more money
11 and more people involved in the analyses so we could have the
12 data in a timely fashion?

13 DR. FABRYKA-MARTIN: Yes.

14 DR. LANGMUIR: Whether it be for you, or--

15 DR. FABRYKA-MARTIN: I would say about a third to half
16 of my resources this year have been spent trying to come to
17 terms with that age correction method. It turned out to be
18 more complicated than I had initially thought it would be.
19 It never occurred to me that the meteoric bromide/chloride
20 ratio could be so variable, and that's thrown me off. That's
21 not something that's going to continue. One way or another,
22 I'm going to just cut bait, and say, "This is the best we can
23 do," without making it into a research project, so that's
24 going to be a matter of, oh, well, next fiscal year for sure.

25 At that time, then, I can go back to processing

1 samples in a timely fashion. Right now, I'm limited by
2 storage space at Los Alamos. I can't bring any more barrels
3 of samples in until I send some back, and I don't want to
4 send them back until I'm sure I'm done with them, so that's
5 been sort of the thing there.

6 But, Livermore, okay, right now, there are two
7 facilities in the United States who can make the Chlorine-36
8 analyses, and the Chlorine-36 analyses themselves are the
9 most straightforward part of the whole project. Livermore is
10 one, Purdue is the other. I put out a bid for the analyses,
11 and--this is proprietary information, so never mind, but,
12 anyway, there's no problem making analyses. They both have a
13 good turnaround time, although they differ on costs.

14 But it's the sample processing that's time-
15 consuming, just the simple leaching of the samples and
16 preparing the samples, not the analysis. The analysis just
17 goes like that.

18 DR. LANGMUIR: Have you got a backlog of stuff that you
19 have done the leaching to that simply hasn't been analyzed
20 yet?

21 DR. FABRYKA-MARTIN: No. That goes through pretty fast.
22 Actually, the most difficult measurement is the
23 bromide/chloride analyses. That's the slow-down, and the
24 reason is that the leachate is so extremely low in bromide,
25 in particular, we're down to part per billion levels, and

1 I've been very demanding in the precision with which those
2 measurements are made, and making sure that what that
3 bromide/chloride ratio is measured is known within, say, 10
4 per cent or better.

5 That's the real slow-down, particularly since it's
6 only in the past, I'd say, two years that we finally had our
7 ion chromatography system up to where we could perform with
8 high precision at part per billion level for bromide, so now
9 I have a couple years of data that are just lousy as far as
10 bromide goes, and I ought to re-leach those samples and
11 repeat those analyses.

12 And I think, when you saw my bromide/chloride
13 curve, I think that's what some of those outliers are, so I
14 think, after thinking about this for a week, I think what I
15 need to do is re-prioritize the sample processing. As I
16 mentioned in my talk, I think it's pretty clear cut that
17 there is fracture flow through Tiva Canyon into the PTn.
18 There's not much more to be gained from continuing, my
19 continuing on measuring Chlorine-36 in those shallow neutron
20 holes in the upper part of the profiles.

21 I might just do three or four analyses of PTn
22 samples from some of those holes, but, other than that, don't
23 even go at it anymore, although we would have samples
24 archived, I would hope, so that it would always be an open
25 thing, but, instead, focus on those deep boreholes that

1 extend to the water table, particularly repository horizon
2 down to the water table, and also focus on the ESF samples.
3 Then the issue of the backlog isn't nearly so pressing; and,
4 then, secondly, continue to give highest priority to where Al
5 Yang, if he does see tritium bomb pulse, but where he does
6 see those, those would be top priority, and we have that
7 understanding between us.

8 DR. LANGMUIR: Yeah. I wanted to get to Al at this
9 point, and I had a couple of questions for him. I know he's
10 been impatient to get up there, but see if I can say what I
11 thought he was trying to get across earlier on.

12 The critical thing for both of you, of course, is
13 not only what does the sample represent, but is the age
14 getting a true age, or just simply an apparent age. You're
15 having to correct it, and the corrections are very complex in
16 both chlorine and the carbon case.

17 My understanding of Al's problem was, as far as the
18 fluids in the system go, that when you do a Carbon-14
19 correction, you have to get the Carbon-12/13 ratio out of
20 minerals in contact with the water that might have
21 equilibrated with it to correct the age to a true age, and my
22 understanding was, Al, that you had, in your rock, you had
23 various zonations of calcium carbonate which, in themselves,
24 had different 12/13 ratios, and trying to decide which of
25 those zones in the carbonate rock had equilibrated with the

1 water complicated your interpretation and your age
2 corrections, giving only a range of values, rather than a
3 well-defined age.

4 Is that basically correct?

5 DR. YANG: Yes. Can I explain?

6 DR. LANGMUIR: Yes, you may.

7 DR. YANG: Now, I assume you are talking about how much
8 confidence you have in your ages. Now, what we date, this is
9 the thing dissolving in water. That's what we date, and
10 what's the reaction going on. This is a soil CO₂. The CO₂
11 dissolve from respirations, and the difference in the caliche
12 near the surface that reacted with the water, and rain water,
13 and dissolved this and reacted with this, and it formed in
14 this, and these are what we are dating on the Carbon-14.

15 So, the Carbon-14 from here is come one from here,
16 one from here, and this caliche has a range of--right now,
17 the primary--this is changing, because they have dissolved it
18 from 20,000 years to 40,000 years, all the caliche, and they
19 sit on top of each other, and all these constant dissolve,
20 dissolve all of them at once, or, you know, all this
21 complication comes in, so I don't know the exact ages of
22 this.

23 If this is marine, it's dead, easy to correct.
24 Now, if this is marine, zero, and this is one model that is
25 50 per cent to start with. The carbon just form--you start

1 with already 50,000 years. Then you need to correct these
2 kind of ages.

3 Now, on top of that, the CO₂ in the biosphere out
4 at Yucca Mountain, it's changing from years to years,
5 depending on the wetness and all this, so this is not 100 per
6 cent. Sometime, it changes. On the 13/12 ratio, we want to
7 know if the--assume this was a constant, but at Yucca
8 Mountain it's not. It's already been measured at Yucca
9 Mountain from the soil sample coming up. In the wet years,
10 this is more negative, -25. Sometimes, drying year, this is
11 only about, you know, -16, something like that.

12 So, if this is not constant, and this is, you know,
13 we have to know how much come from here and how much come
14 from here, and this combination, and that's what the
15 population is, how to correct the Carbon-14 age, and this is
16 a problem we have.

17 Another bicarbonate can be formed from this
18 process, you know, as the silicate dissolve with this acid,
19 then, in that case, it's easy, you don't have to correct for
20 it, but this is very, kinetically, a very slow process, so
21 not much is going on and a lot of this going on, and that's
22 what the problem with Carbon-14 age corrections, but on this
23 order of magnitude, you can say, well, this is less than how
24 much, and we can say that.

25 So, you know, should I show how the perched water--

1 where we go from there?

2 DR. LANGMUIR: Yes. I would personally like to hear
3 about it. My understanding is you've got some preliminary
4 age dates for the perched water, and they vary around the
5 mountain.

6 DR. YANG: Yes.

7 DR. LANGMUIR: And I think that's interesting
8 information, since it's well down below the repository
9 horizon. I'd like to see it, personally. These are, again,
10 apparent ages?

11 DR. YANG: Apparent ages.

12 DR. LANGMUIR: These are apparent.

13 DR. YANG: Yes. Now, the most important thing is this
14 most recent data for the perched water on the SD-7. Now, you
15 can see the Carbon-13 ratio for all these very consistent.
16 Carbon-14 is--the first one is on the March 8th. This is
17 where we hit the water, then we collect the water in the
18 dating of those, and in those, after March 16th is the pump
19 test, and we collect the sample as a function of time.

20 Chin-Fu has said, you know, that changing as a
21 function of time is important, and that's what we did in
22 here, as a function of time, and see what the change is, but
23 the first time since the younger--seems we have some of the
24 modern water or something, more recent water come in. May
25 not be recent, but it's younger compared with those. Those

1 are very consistent in the Carbon-14, so these are about
2 10,000 years, 11,000 years uncorrected, and you can see all
3 isotope, these are supportive of the ages, because we know,
4 in the last Ice Age, it's about 10,000 years ago, this value
5 will be about -120, something like that.

6 So, these stable isotope data help us to
7 incorporate the ages, too, so from these data you can see
8 there is no Ice Age water, and if this is corrected for the
9 Carbon-14 ages from this, this will become about 7,000 years,
10 something like that. I cannot give the exact number, but it
11 will be less, so it will become 7,000, or something like
12 that, from this number we see here.

13 And how confident are this, you know, from this
14 data, from isotopic data, it's telling me this is not Ice
15 Age. If there's water from 10,000 years, 50,000 years ago
16 mixed with modern water, this result is more negative, and we
17 didn't see that. All this water, after 7,000 years to
18 present water, so our complication is not as much we
19 expected, so very old mixed water and young water mixed
20 together. That's sure from this isotopic data.

21 DR. LANGMUIR: If you apply correction to the Carbon-14,
22 independent of --, which suggests temperature recharge, if
23 you apply the corrections to the Carbon-14, then, using your
24 dead carbon or carbonate within the ranges you'd expect--

25 DR. YANG: Yes. So that's why I'd say, from this range

1 from 2,000, something like that, to about--

2 DR. LANGMUIR: The perched water could be as young as
3 2,000 years?

4 DR. YANG: No, no, no, no, just for this, really,
5 between, I don't know, 5,000 to 7,000, 8,000, somewhere
6 between those, if you even correct for them, so it can't be
7 go over that range. I think it just pull some age reactors
8 to correct for it, but I cannot pinpoint, you know, how old
9 that is. There is some range on this based on this volume.
10 That's why this is very important, to have a 13/12 ratio for
11 every sample you measure.

12 DR. DOMENICO: I'm confused on the depth. I see 16020.
13 What does that mean in terms of the depth of this?

14 DR. YANG: These are all the same depth. We pump test,
15 so the pump is down there, keeping pumping up the water, so
16 it's a big, big volume of water reservoir there, and we are
17 analyzing. Every day, we take two samples and analyze for it
18 and see what the change is about, and from this data, it
19 doesn't seem to be any change. It's the same body of big,
20 big water.

21 DR. DOMENICO: Are you certain that you're not in the
22 saturated zone there?

23 DR. YANG: No, this is unsaturated zone. It's still at
24 the Calico Hill. This is still at the Calico Hill formation,
25 above the water table. So, because of the pump test, we

1 didn't have that much pump test, only on the two, UZ-14 and
2 SD-7 we have all these tests, and that show--this was not
3 quaternary. UZ-14 was quaternary, but this is not, so it's
4 pretty good confidence. It's a big body.

5 Now, talking about air/water exchanges, now, you
6 can't affect this water. This is a big, big body of water.
7 The gas cannot change this, and we show these ages similar to
8 Calico Hill pore water Carbon-14 ages, and that give some
9 confidence. You know, we are talking about that same ball
10 park on the Carbon-14 ages, not talking of the very, very old
11 ages.

12 So, from this data, and how the water is getting
13 there, you know, this is another issue. You can see these
14 Yucca Mountain precipitation lines, and this is the ground
15 water, saturated zone ground water. These are the one--it's
16 some of them pretty light, you cannot see it, but it's all
17 near these precipitation lines. What that tell you is the
18 water come right in, instead of runoff the surface for
19 evaporation. If evaporated, then this data will show
20 something like this, away from this line here.

21 DR. LANGMUIR: June Fabryka was suggesting yesterday,
22 from her results, that most of the infiltration took place on
23 slopes and hillsides, as opposed to alluvial areas, and so
24 on--this morning, rather--and is this consistent, this sort
25 of thing, with those being the kinds of sources of this water

1 as well? Do we know enough about it? Do you have Chlorine-
2 36 data on some of it? You don't have any, actually, on
3 this. This is perched water. You have no Chlorine-36?

4 DR. FABRYKA-MARTIN: I do. Al has been collecting water
5 samples for me for Chlorine-36 analysis, and so I had the
6 full suite. I do not have the results yet for SD-7. I do
7 have results for all the other occurrences of perched water,
8 which are around--under the Drill Hole Wash area, and,
9 actually, it's rather interesting, because in UZ-14 perched
10 water body, they collected samples each time it was bailed,
11 each time it was pumped, so we had a suite of maybe ten
12 samples, and C-14 and Chlorine-36 are anti-correlated. It's
13 a very nice--I can show it up on the overhead. I don't know
14 what to say about it, but it is interesting, anyway, because
15 it's not expected. I'm not sure whether it makes sense to me
16 yet or not.

17 When I was talking about the infiltration occurring
18 where the alluvial cover was thin or absent, that's when
19 we're talking about an area, you know, just about the
20 behavior in general. For all we know, the source for the
21 pathway leading to the perched water might be along a fault
22 structure, in which case, it's not really the same thing, so
23 I don't think I would know enough to say, and I think
24 probably the geochemical data ought to be an interesting--

25 DR. YANG: Yes. I have some more geochemical data, you

1 know. You're asking about fast flow paths, are the water
2 coming out to feed the perched water coming through the
3 fracture, or coming through the matrix. That's your
4 question; right? How many passing and coming through the
5 matrix and coming through that?

6 Now, if I show you some of this data here--

7 DR. DOMENICO: Excuse me. We're going to have to allow
8 some time for public comments, so I'm going to have to turn
9 the meeting over to Don.

10 DR. LANGMUIR: Do we have time for one more illustration
11 and just a minute or two?

12 DR. DOMENICO: And then we'll call it a day.

13 DR. LANGMUIR: I think I'd like to see how--you brought
14 some insights that many of us have not heard, where the
15 general chemistry should be consistent with the ages. I'd
16 like to just make sure I understand that.

17 DR. YANG: Now, this one is perched water.

18 DR. LANGMUIR: Now, please, help me, because I'm not
19 following this, and if I can't, I think we have general
20 problems.

21 Define for me what the chemical trends are. You
22 were looking at major cations and anions.

23 DR. YANG: Right.

24 DR. LANGMUIR: On the top of that diamond.

25 DR. YANG: This is all the perched water around here.

1 DR. LANGMUIR: Okay.

2 DR. YANG: This is in the Calico Hill unit, all the
3 perched water from just above the Calico Hill unit, or in the
4 Calico Hill unit.

5 DR. LANGMUIR: What does that mean? It's a calcium
6 bicarbonate water, or what?

7 DR. YANG: Yeah, sodium. It's near the sodium
8 bicarbonate water.

9 DR. LANGMUIR: It's a sodium bicarbonate water?

10 DR. YANG: Yes.

11 DR. LANGMUIR: Okay.

12 DR. YANG: Now, here is Topopah Spring. Only UZ-14
13 perched water show up in here, because this from in the
14 Topopah Spring unit, so what I'm trying to show here is you
15 look at the size. This is the total result, you know, how
16 big the circle is. All this perched water is very small.
17 Now, if you compare this with the perched water--

18 DR. LANGMUIR: I thought the first figure was the
19 perched water.

20 DR. YANG: Right, the first showing the perched water,
21 not the pore water.

22 DR. LANGMUIR: This is the pore water?

23 DR. YANG: Yes. Now, you can see all the pore water is,
24 total result is a lot bigger, so what that mean is this water
25 coming down doesn't go through the matrix. The perched water

1 just runs through the fracture or something, less interaction
2 with that, and if all this big circle is pore water, so that
3 compared with the perched water, apparently, the perched
4 water is running through some fractures and don't go through
5 the matrix, and giving such a very small, say, compared with
6 such a baby, how many times, four, five times bigger on the
7 total result side, and it does show you not much matrix
8 fractures contribute to those perched water bodies.

9 And the question you were asking about, you know,
10 those perched water body formed. How much come from this
11 matrix? How much come from fracture? From this, the same as
12 Gregg Davidson said yesterday, are most likely coming from--
13 we can do some of the -- again on this kind of data.

14 DR. LANGMUIR: That sounds like--let me--one last thing,
15 I guess, June, and we'll close it out.

16 DR. FABRYKA-MARTIN: Oh. If I could back up Al, I'm
17 just looking at the chloride concentrations alone. I haven't
18 seen the SD-7 results, but I know for the other occurrences,
19 it's the lowest chloride concentration seen anywhere by Al in
20 the mountain in an unsaturated zone, about 10 mg/l, or even
21 less in some cases, and, remember when I showed the chloride
22 pore water results yesterday? The only other lowest thing
23 was, what, 18 mg/l in some of the Calico Hills non-welded
24 squeezed pore water, so there's no question it's coming down
25 by some fast pathway. It's not even hanging up in the root

1 zone hardly at all. It's just going straight from rain water
2 down to percolating water.

3 DR. LANGMUIR: Sounds like you two have to sit together
4 some more, and we heard yesterday about NETPATH. It sounds
5 like there needs to be some analysis of how the waters get
6 where they are, both reaction-wise and age-wise, to wrap this
7 together, and, of course, the corrections are critical, to
8 the extent you can make them and limit the uncertainties in
9 the ages, so you can feed the hydrologists some fundamental
10 information for their models.

11 I think I have to close it off here. Everybody's
12 been very patient. It's been, for me, very edifying. I've
13 enjoyed this thoroughly, and I think most of us, or all of us
14 have enjoyed it thoroughly, and appreciated the speakers'
15 presentations and the education we've all obtained. Thank
16 you. Everybody on the panel, thank all the speakers. I
17 think we've adjourned.

18 (Whereupon, at 12:40 p.m., the meeting was
19 adjourned.)

20

21

22

23

24

25