

NUCLEAR WASTE TECHNICAL REVIEW BOARD
MEETING OF THE PANEL ON THE ENGINEERED BARRIER SYSTEM
IDAHO NATIONAL ENGINEERING LABORATORY (INEL) ACTIVITIES FOR
DISPOSAL OF DEFENSE HIGH-LEVEL WASTE AND SPENT NUCLEAR FUEL

O'Callahan's Convention Center
Shilo Inn
Idaho Falls, Idaho
June 6, 1995

BOARD MEMBERS PRESENT

Dr. John Cantlon, Chairman, NWTRB
Dr. Donald Langmuir, Chair, Panel on the
Engineered Barrier System
Dr. Garry D. Brewer, Member
Dr. John J. McKetta, Member

CONSULTANTS

Dr. Dennis L. Price
Dr. Ellis D. Verink

NWTRB STAFF

Dr. William D. Barnard, Executive Director, NWTRB
Dr. Carl Di Bella, Senior Professional Staff
Dr. Daniel Fehringer, Senior Professional Staff
Dr. Daniel Metlay, Senior Professional Staff
Dr. Leon Reiter, Senior Professional Staff
Dr. Victor Palciauskas, Senior Professional Staff
Mr. Russell McFarland, Senior Professional Staff
Frank Randall, Assistant, External Affairs
Ms. Linda Hiatt, Management Assistant
Ms. Donna Stewart, Staff Assistant

I N D E X

	<u>PAGE NO.</u>
Opening Remarks	
Donald Langmuir, Chair, Panel on the Engineered Barrier System	4
Nuclear Waste Technical Review Board	
Welcome to INEL/Idaho Falls	
Mike Bonkoski, Manager, Spent Fuel and High-Level Waste Programs,	10
DOE Idaho Operations Office	
Waste acceptance requirements/DOE interface	
Steve Gomberg, Team Leader, Systems Engineering and Program Integration Team	11
Office of Civilian Radioactive Waste Management, DOE	
Overview of DOE-owned Spent Nuclear Fuel Program, status of the programmatic SNF environmental impact statement, and the SNF record of decision	
Brian Edgerton, Office of Spent Fuel Management . .	33
DOE-ID	
DOE-owned spent nuclear fuel at INEL, description and current storage challenges	
Al Hoskins, Manager, Spent Nuclear Fuel Program . .	54
Lockheed Idaho Technologies Company (LITCO)	
DOE-owned spent nuclear fuel at INEL, system engineering and ultimate disposition challenges	
Gary McDannel	69
LITCO	
Repository disposition evaluation for INEL spent nuclear fuel and high-level waste: performance assessments and criticality analyses	
Henry Loo	82
LITCO	
Repository disposition evaluation for INEL spent nuclear fuel and high-level waste: meeting waste acceptance criteria	
Larry Taylor	100
LITCO	

INDEX - continued

DOE-owned spent nuclear fuel: naval propulsion program component--path forward for ultimate disposition	
Don Connors	120
Bettis Atomic Power Laboratory	
DOE-owned spent nuclear fuel: stabilization technology and development activities	
Jim Laidler	134
Argonne National Laboratory	
Commercial spent fuel storage demonstration activities at INEL	
David Abbot and Norman Rohrig	150
LITCO	
Overview of the INEL High-Level Waste and Contaminated Metal Recycle Programs	
Jeff Snook, Program Task Leader	159
DOE-ID	
High-level waste treatment technologies	
Brent Palmer	169
LITCO	
Greater-than-class-C waste management program	
Ken Henry	191
LITCO	
Integration of environmental management activities at INEL	
Clark Williams	209
LITCO	
Public Questions and Comments	
Donald Langmuir, Moderator	224
Round-table discussion	
Donald Langmuir, Moderator	226
Briefing on tomorrow's tour	
Harlin Summers, LITCO	255
Closing Remarks	
Donald Langmuir	256
NWTRB	

1 P R O C E E D I N G S

2 DR. LANGMUIR: Good morning. My name is Don Langmuir.
3 I am professor emeritus of geochemistry at the Colorado
4 School of Mines in Golden, and I serve as chair of the
5 Board's Panel on the Engineered Barrier System. The EBS
6 Panel instigated today's meeting.

7 First let me introduce my colleagues on the panel:
8 Dr. John McKetta. Is John here yet? There he is.

9 DR. MCKETTA: Hi, Don.

10 DR. LANGMUIR: Professor emeritus of chemical
11 engineering at the University of Texas in Austin. Dr. Dennis
12 Price I think is still having breakfast. He is professor--
13 it's very tough getting service out there with this many of
14 us. He is professor of industrial and systems engineering
15 and director of the Safety Projects Office and coordinator of
16 the Human Factors Engineering Center at VPI. Dr. Ellis
17 Verink, professor emeritus in the Department of Material
18 Science and Engineering at the University of Florida. Dr.
19 Verink chaired this panel until his term expired. He and Dr.
20 Price, whose term also expired, have been serving on the
21 panel and the Board as consultants pending presidential
22 action to reappoint or appoint replacements.

23 We are very pleased that the Chairman of the Board,
24 John Cantlon, is with us today. His field is environmental
25 biology, and he's a former vice president for research and

1 graduate studies and dean of the graduate school at Michigan
2 State University. He has served as chairman since April of
3 '92. As chairman, he is an ex officio member of all panels.

4 I'd also like to introduce Dr. Garry Brewer,
5 professor of resource policy and management and dean of the
6 School of Natural Resources and Environment at the University
7 of Michigan. Dr. Brewer chairs the Board's Panel on
8 Environment and Public Health and the Panel on Risk and
9 Performance Assessment.

10 We have two members of the Board's staff with us at
11 the head table. One is Dr. Bill Barnard. Bill is the
12 Board's executive direct. And Dr. Carl Di Bella, who is a
13 member of the Board's senior professional staff and who
14 assists this panel among other duties. I also want to thank
15 Carl for his as usual excellent job of organizing this
16 meeting for the Board.

17 Several other Board staff members are with us
18 today. They are seated at the table on the side or at the
19 table in the back. Briefly, they are Russ McFarland, senior
20 professional staff member; and the other professional staff
21 members with us today are Dr. Daniel Metlay, Dr. Leon Reiter,
22 Dr. Daniel Fehringer and Dr. Victor Palciauskas. Also with
23 us today are Frank Randall, a member of our external
24 relations staff; Linda Hiatt, in charge of meeting
25 arrangements; and Donna Stewart, member of the support staff.

1 We are not frequent visitors to INEL. This is only
2 the second visit by a Board group, our only other being more
3 than three years ago. I think, therefore, that I need to
4 describe who we are, briefly, what we do, and of course why
5 we're here. Our Board was created by the 1987 amendments to
6 the Nuclear Waste Policy Act. The amendments provide simply
7 that the Board shall evaluate the technical and scientific
8 validity of the Department of Energy's activities under the
9 Nuclear Waste Policy Act. The Act itself was passed in 1982
10 and provides for DOE to develop repositories for high-level
11 waste and spent nuclear fuel by following an orderly process
12 of repository site characterization, approval by the Nuclear
13 Regulatory Commission, and construction. Currently, only one
14 potential repository site is being evaluated. It is at Yucca
15 Mountain, Nevada. Site-specific work for a second repository
16 is not authorized and cannot be under current law until the
17 year 2007 at the earliest.

18 Board members are nominated by the National Academy
19 of Sciences and appointed by the president. We are not a
20 large Board. More than half the Board and more than half the
21 professional staff are here today, even though this is a
22 panel meeting rather than a full Board meeting.

23 The liquid high-level waste from reprocessing in
24 tanks at INEL and the greater amount of calcine derived from
25 that liquid waste and stored in bins here are destined for

1 deep geologic disposal in some sort of safe, solid form, in
2 one or more repositories. That material is our--was our
3 primary interest for our last visit. We wanted to know how
4 the waste would perform in a repository and how it could
5 impact a repository. We wanted also to know how much there
6 is, what its composition is, what sort of separation and
7 solidification treatments you are considering for it to get
8 into a proper form for permanent disposal, and how it might
9 be packaged to come to a repository.

10 We are looking forward to an update on your plans
11 for liquid high-level waste and calcine today, but our
12 primary interest for this visit is really spent fuel, in
13 particular spent fuel owned by the government, like naval
14 spent fuel, in contrast to civilian spent fuel. This
15 government-owned spent fuel is also destined for deep
16 geological disposal in a repository, after appropriate
17 processing and packaging. Our questions are in the same vein
18 as for high-level waste and calcine: how much government-
19 owned spent fuel is there, what are its characteristics, and
20 what are you going to do to make it acceptable for repository
21 disposal? I suspect that all the answers to these questions
22 do not yet exist, but anticipate we will hear your plans to
23 develop answers.

24 We would also like to know how the part of DOE
25 responsible for storing, processing, and packaging the

1 high-level waste and spent fuel, which is the Office of
2 Environmental Management, and the part of DOE responsible for
3 site characterization at Yucca Mountain, which is the Office
4 of Civilian Radioactive Waste Management, are working
5 together to develop specifications that high-level waste and
6 government-owned spent fuel must meet for disposal.

7 Also on today's agenda are discussions about the
8 Greater-than-Class-C waste management program. Although this
9 is defined as a low-level waste, it is the most hazardous of
10 low-level wastes, and therefore destined for geological
11 disposal. And there is a presentation about INEL activities
12 on civilian spent fuel storage. With regard to the latter, I
13 want to announce that for our 1:30 presentation today, David
14 Abbot and Norman Rohrig will do a tag-team presentation in
15 place of Kevin Streeper.

16 We are well aware that the Secretary of Energy
17 announced her Record of Decision on the "interim management"
18 of government-owned spent fuel on June 1st--last Thursday.
19 In this case, "interim management" apparently means the
20 consolidation of government-owned spent fuel to Hanford,
21 INEL, and Savannah River, and its safe storage at these
22 locations for a finite time period. We realize that our
23 presence here so soon after the Record of Decision may leave
24 some to infer that we might have something to do with it or
25 the draft and final EIS that preceded it. Well, we really

1 don't. "Interim management" of government spent fuel is not
2 in our purview. As I've said already, our purview is the
3 next step. We are concerned about waste that might be
4 disposed of with civilian reactor spent fuel in a repository.
5 We would hope, however, that whatever is done during
6 "interim management" will not be incompatible with ultimate
7 disposal.

8 We want to express our thanks to the Idaho
9 Operations Office and Lockheed-Idaho Technologies for the
10 meeting today and the tour tomorrow. I want to particularly
11 thank Brian Edgerton, Walt Mings, Ron Denney, and Gerry
12 Paulson; I understand that they have been working closely
13 with the Board's staff in arranging the meeting and in
14 setting up tomorrow's tour.

15 I know that each speaker has much more to say than
16 could be said in his or her topic area during the time
17 allotted. I am concerned that we stay on schedule so as to
18 allow those speakers late in the day their fair share of
19 time. So to the speakers, I say, please stay on schedule; I
20 will help you by letting you know as you approach the end of
21 your time. I will be soliciting questions from the Board,
22 the staff, and if time permits, from the floor, after each
23 speaker. If I don't get to your question or comment, please
24 try to hold it until the public comment period at the end of
25 the day.

1 If there are no general announcements before we
2 start; if there are, we could address them now. If not,
3 let's continue and start the meeting.

4 Our first speaker is Tom Burns, assistant manager
5 of the DOE-Idaho Ops Office. The floor is yours, Tom.

6 MR. BONKOSKI: Now, first off, I'm not Tom Burns, I'm
7 Mike Bonkoski. I'm manager of the spent fuel and high-level
8 waste programs at the Department of Energy Idaho Operations
9 Office.

10 I'd like to welcome the Engineered Barrier System
11 Panel to Idaho Falls. I will not apologize for the weather,
12 but I can't let this weather pass without comment. When I
13 first moved here about thirteen years ago, I was told by a
14 lot of people here that if you're dissatisfied with the
15 weather, wait five minutes and it will change. Well, they
16 didn't finish that. It does change, but for the worse.

17 This is a timely meeting of the Panel in Idaho
18 Falls, mainly due to recent and current activities that
19 affect our management of high-level waste and spent fuel.
20 Just recently we completed our spent nuclear fuel
21 programmatic and environmental restoration waste management
22 EIS and issued a Record of Decision on that last week. And
23 you'll hear more about that later. In addition, we're
24 negotiating with the State of Idaho a consent order under the
25 Federal Facilities Compliance Act that relates to scheduling

1 a treatment of high-level waste. And in addition, we have
2 the bill of the week that's being proposed in Congress
3 regarding the repository.

4 I think we have an interesting array of topics for
5 you today, and if there is any additional information we can
6 provide to you after this meeting, please feel free to ask.
7 Again, welcome to Idaho Falls.

8 DR. LANGMUIR: Our next presentation is, if I have the
9 name right and we haven't got a problem with the agenda,
10 Steve Gomberg, talking about waste acceptance requirements,
11 the DOE interface.

12 MR. GOMBERG: I was going to make a comment about the
13 weather, too, but I guess since everybody else will I'll hold
14 my comments until the end of the public comment period.

15 I have a lot of material and a little bit of time,
16 so what I'm going to do, I guess first I should introduce
17 myself. My name is Steve Gomberg. I'm with the Civilian
18 Radioactive Waste Management Program, team leader of the
19 systems engineering and program integration team. I'll be
20 talking about waste acceptance requirements and the DOE
21 interface. And basically I wanted to cover four areas. The
22 first three, in the interest of time, I will try to go over
23 very quickly, because I think the Board knows most of that
24 information, and then focus on the latter point, the
25 interface, that I don't know if the Board has heard anything

1 formal to date.

2 For the purpose of overview of the program, some
3 key milestones and activities that we are focusing on at the
4 present time, notwithstanding any bills of the week or
5 anything along that line. We're working at Yucca Mountain
6 Site Characterization Project to make a Technical Site
7 Suitability Determination by 1998; to submit an initial
8 license application by the year 2001 to the NRC; and to begin
9 repository operations by 2010. From the waste acceptance
10 storage and transportation side of the program, we are
11 planning on deploying Multi-Purpose Canisters to the
12 utilities by 1998, and presently there is no monitored
13 retrievable storage system within our planning basis at this
14 time. From the standpoint of second repository operations,
15 there are no activities being conducted to date to
16 investigate second repository. We are required to make a
17 recommendation and an evaluation to Congress no sooner than
18 the year 2007.

19 Also, I wanted to just put a schematic up. This is
20 what we call an interface diagram. It tries to define the
21 flow of materials into the Civilian Radioactive Waste
22 Management System, ultimately destined for permanent disposal
23 in a repository. In the upper left-hand corner, the civilian
24 reactor and spent fuel storage site wastes and DOE spent fuel
25 storage sites will provide spent fuel which, if acceptable,

1 would be transported into the Civilian Radioactive Waste
2 Management System and ultimately emplaced underground in a
3 repository. There is also the high-level waste and
4 production storage, including that from INEL, which would
5 also potentially come through that waste acceptance gate into
6 the waste management system.

7 There are three key Statutory and Regulatory
8 Authorities which primarily drive the activities of the
9 program, including the development of requirements, and they
10 are: The Nuclear Waste Policy Act, which defines the
11 development of repositories, authorizes characterization of
12 the Yucca Mountain candidate site, limits waste to be
13 emplaced in the first repository to 70,000 metric tons heavy
14 metal. In addition, the 10 CFR Part 60, the NRC's
15 regulations on disposal of high-level waste in geologic
16 repositories, defines licensing requirements, site criteria,
17 waste package performance and design criteria, and repository
18 design considerations. And finally, the Environmental
19 Protection Standard, 40 CFR 191, which is presently remanded
20 and is being reevaluated by the National Academy of Sciences,
21 establishes allowable releases to the accessible environment.
22 In lieu of a final standard, we are using the remanded
23 standard as a basis to at least help us plan and conduct site
24 characterization activities under that standard until a
25 permanent standard is put in place for Yucca Mountain.

1 Now, within all of these statutory requirements
2 there are some key waste form considerations that we do
3 impose on waste forms. Primarily from the NRC regulations,
4 the waste form must meet certain waste form criteria.
5 Solidification, consolidation, and noncombustibles are the
6 primary characteristics of a waste to be acceptable within a
7 repository environment. The waste form must be designed to
8 remain subcritical for long time frames. And we are
9 currently looking at excluding RCRA mixed wastes from the
10 first repository.

11 In addition, the waste form is a key component of
12 the waste package design, and there are specific package
13 design criteria which must be met which in part are incumbent
14 on the waste form. Those include no explosive, pyrophoric or
15 chemically reactive materials, no free liquids. These
16 requirements are established in such a way that these are not
17 in a concentration that would affect the ability of the
18 repository to perform its waste isolation capabilities. We
19 also have to have specific handling requirements to ensure
20 safe handling of the waste and unique identification so that
21 we can track the waste, this individual spent fuel or high-
22 level waste, from its origin to its permanent burial
23 locations and ultimately, in the event of retrievability,
24 would be able to identify those waste forms.

25 In addition, as part of the waste package design,

1 we must consider interactions. And so these include such
2 things as solubility, reduction-oxidation potential,
3 hydriding, effects of radiolysis, corrosion--there are
4 several others. These were the key that would potentially
5 relate to spent fuel waste forms.

6 Now, in developing requirements for waste forms,
7 another aspect is some requirements that are incumbent on the
8 Engineered Barrier System or the repository have a component
9 that comes from the waste form, and therefore there may be
10 contributory requirements that we would allocate to a waste
11 form in order for the Engineered Barrier System, for example,
12 to meet its performance objectives. I've called these
13 Performance Allocation type requirements. They're important
14 because the waste form is the key physical interface and
15 those characteristics define the design of the waste
16 handling, transportation, repository subsurface facilities
17 and equipment.

18 In addition, the waste form performs as part of the
19 Engineered Barrier System and the Total System Performance.
20 There are three key periods that we analyze. The first one
21 is called the substantially complete containment period, from
22 300 to 1,000 years. The second one is the gradual release
23 period, which is basically from 1,000 to 10,000 years. And
24 finally, the overall releases to the accessible environment.
25 Currently right now are established from up to 10,000 years.

1 In addition, long-term criticality control must be
2 maintained and geometry and various considerations such as
3 poisons and whatnot that the waste form may contribute are
4 part of the overall analysis and set of considerations.

5 Now, the way we document requirements within the
6 Civilian Radioactive Waste Management Program is through the
7 Requirements Technical Baseline Hierarchy. The top-level
8 document provides the key functions and statutory sources
9 which provide the initial requirements that then get
10 developed and evolved into what we call the System
11 Requirements Documents. If you'll remember the interface
12 diagram I showed a little awhile ago, there were four key
13 activities or elements that occurred within the Waste
14 Management System, and those four activities are captured in
15 the form of Requirements Documents below the top-level
16 document. The one I want to focus on is the Waste Acceptance
17 System Requirements Document, and there's a little bit of a
18 description on that on the next slide.

19 Okay, and primarily this provides the full set of
20 requirements for those waste forms currently accepted or
21 planned to be accepted into the Waste Management System,
22 including interface requirements, contractual requirements,
23 quality assurance requirements, training, some of the
24 administrative requirements, requirements on the waste
25 acceptance element. And in addition, it identified waste

1 form criteria, and those criteria develop and evolve to
2 different levels of specificity based on the knowledge of the
3 waste form. Right now we have criteria for commercial spent
4 fuel and for canistered borosilicate high-level waste glass,
5 and we are planning to develop other specifications for such
6 waste forms as DOE spent fuel and other waste forms as may be
7 necessary to accommodate geologic disposal.

8 Now, within the program currently, we plan to
9 accept for disposal commercial spent fuel, low-level--I'm
10 sorry, light water reactor spent fuel and canistered high-
11 level waste glass. This is the most data that exists. And
12 we're evaluating the applicability of other waste forms for
13 disposal, and those are including right now DOE-owned spent
14 nuclear fuel--and that includes production reactor spent
15 fuel, naval reactor, research reactor fuels--surplus weapons
16 materials, plutonium residues, and Greater-than-Class-C low-
17 level waste. The focus of this presentation right now will
18 focus, though, on the DOE-owned spent nuclear fuels.

19 Now, just by way of comparison, the projected
20 inventory out to 2030 of commercial spent fuel is around
21 85,700 metric tons compared to about 2,800 metric tons of
22 DOE-owned or defense-related spent nuclear fuel. Within the
23 first repository planning allocation, as established by the
24 Nuclear Waste Policy Act, we can allocate 70,000 metric tons
25 within the first repository, and that allocation right now

1 allows for 63,000 metric tons for commercial spent fuel and
2 7,000 metric tons of defense spent fuel or high-level waste.

3 Now, related to depository disposal, the
4 disposition of DOE-owned spent nuclear fuel includes the
5 provision for safe interim storage and management at the
6 location as determined in the Record-of-Decision until they
7 are ultimately dispositioned. All DOE-owned spent fuel would
8 be stabilized, characterized and prepared for ultimate
9 repository disposal. There is currently a reassessment going
10 on within the Department to look at reallocating within the
11 10 percent allocation within the first repository planning
12 basis to allow--initially it was 7,000 metric tons of
13 borosilicate glass; we are looking within the Department as
14 far as allowing a reallocation so that the total 7,000 metric
15 tons could include both DOE-owned spent nuclear fuel and
16 high-level waste glass. The ultimate constraint is that it
17 does not exceed 10 percent of the repository capacity. And
18 there are certain considerations, then, for acceptance,
19 including payment of fees, appropriate NEPA reviews,
20 minimizing impacts to the program's schedules, and of course,
21 compliance with waste acceptance requirements.

22 Now, along that line, there are steps along the way
23 that it would take to qualify waste forms for disposal.
24 Certainly the key part would be characterization. We need to
25 understand the physical, chemical, radiological properties of

1 the waste forms, and one key way to do that, of course, is
2 through characterization testing. Performance assessment
3 would take that information and allow us to model how the
4 waste would behave out into the long term. Consistent with
5 the requirements we would focus on the Engineered Barrier
6 System and Total System Performance Requirements and
7 criticality. Presumably there would also be validation
8 testing to validate that these results were reproducible in
9 the field, if you will. In addition, we would need to
10 analyze the waste forms against the waste form criteria in
11 60.135 to look at some things such as pyrophoricity, chemical
12 reactivity and those sorts of things over the long term
13 within the repository environment.

14 In addition, then, this information would also
15 allow us to design Engineered Barrier Systems, i.e. waste
16 packages, and surface and subsurface facility designs. The
17 information would also then be used to allow us to conduct
18 the appropriate NEPA evaluations, to prepare for licensing by
19 incorporating the impacts of DOE spent fuel in the Safety
20 Analysis Report, another appropriate documentation that will
21 be going to the NRC. And obviously all of this needs to be
22 done under the veil of quality assurance requirements.

23 In evaluating the DOE-owned spent fuel disposition
24 for repository disposal, the approach we've taken is to
25 identify key issues affecting our ability to manage those

1 waste forms within the radioactive waste management system,
2 primarily technical, regulatory and programmatic. What we've
3 tried to do to minimize the amount of work and activities
4 that need to be done are focus on those differences between
5 commercial spent fuel and DOE-owned spent fuel. We do have a
6 lot of information on a large data base on commercial spent
7 fuel, and this will hopefully allow us to reduce the amount
8 of work that would need to be done to characterize these
9 waste forms.

10 What we would do then is recommend data needs and
11 activities that would allow the ultimate integration of these
12 waste forms into the Waste Management System. That's from
13 the OCRWM side. From the EM side, we want to help provide
14 early guidance to EM given what we expect would be the final
15 Waste Acceptance Criteria and the requirements on the waste
16 form to give EM and their contractors the ability to make
17 decisions, including whether the waste forms are suitable for
18 direct disposal, whether they would need conditioning or
19 treatment, or whether they might need processing of some sort
20 to make them suitable for disposal.

21 Now, this is the section that focuses specifically
22 on the interface that we've established within the Department
23 within the Office of Environmental Management and the Office
24 of Civilian Radioactive Waste Management. This coordination
25 is facilitated by something called the DOE-Owned Spent

1 Nuclear Fuel Steering Group. And the Steering Group is
2 responsible for identifying issues regarding waste acceptance
3 through emplacement of DOE-owned spent fuel into a geologic
4 repository and specifically recommending tasks, activities,
5 data information needs for the resolution of DOE-owned spent
6 nuclear fuel disposal issues.

7 Now, the organization includes membership from both
8 RW and EM. There are co-chairs and members as appropriate.
9 And the Steering Group basically will make recommendations to
10 line management for conducting activities as part of the
11 normal budget development process, hopefully beginning in FY
12 '95 and continuing through FY '96 and out years. So
13 obviously some of this work is very dependent on the budgets
14 that we get from Congress and that sort of thing.

15 We basically established Task Teams, and the task
16 teams are the groups that provide the general expertise in
17 order to develop the issues and the resolution approaches in
18 order to incorporate these waste forms into the Waste
19 Management System and recommend activities and tasks that
20 would need to be conducted. We've broken up the Task Teams
21 into three basic groups, a Program Team, a Waste Acceptance
22 and Transportation Team, and a Repository Team.

23 Now, what I wanted to do in finishing up is to go
24 through the key issues that have been identified and are
25 being worked on by each of the teams to show that we are on a

1 very aggressive schedule, we are addressing what I think are
2 the key critical issues in all the necessary areas.

3 The Program Task Team is primarily focused on
4 ensuring that adequate inventories exist and characteristics
5 exist as necessary. There are numerous coordination
6 activities that go on at that level. We want to ensure that
7 there are approved quality assurance programs, both within RW
8 and primarily within EM, who is responsible for managing the
9 DOE-owned spent nuclear fuel, and that we can identify future
10 materials that may require repository disposal.

11 The Waste Acceptance and Transportation Team is
12 focused on the interagency agreement and the development of
13 fees/payment schedules, ensuring that safeguard and
14 accounting requirements are met, managing and ensuring that
15 classified information is appropriately managed in the
16 licensing and public process, developing the MTHM
17 equivalence--this is more of an issue with glass waste forms
18 than it is specifically with spent fuel--looking at the types
19 of considerations to transport spent fuel ultimately into the
20 Civilian Radioactive Waste Management System, and looking at
21 things such as standardization with our Multi-Purpose
22 Canister concept which we are applying to commercial spent
23 fuel.

24 The Repository Task Team, I guess in my opinion,
25 has the bulk of the work. They're trying to look at all the

1 waste form constraints consistent with the characteristics of
2 the DOE-owned spent nuclear fuel, incorporate those
3 characteristics into performance assessments that would help
4 us to determine the ultimate acceptability of these waste
5 forms for disposal, and looking at the key considerations
6 related to waste package and equipment design and long-term
7 criticality control calculations and considerations.

8 So, in summary, EM and RW have established a close
9 working relationship to develop and control and resolve waste
10 acceptance issues and develop waste acceptance requirements
11 and criteria for the ultimate inclusion of some or all DOE-
12 owned spent nuclear fuel into the Waste Management System.

13 DR. LANGMUIR: Thank you, Steve. We have plenty of time
14 for questions. Questions from Board members? Dr. Brewer?

15 DR. BREWER: Yes, this is Brewer, the Board. Steve,
16 could you put Chart 11 back up for us?

17 (Pause.)

18 DR. BREWER: Now, I'm not clear this is a real question.
19 In terms of the DOE spent nuclear fuel, you projected 2030
20 2,750 metric tons of uranium. Is that in the inventory at
21 present? Will there be additions to that? I mean, what is
22 the ultimate number by the year 2030?

23 MR. GOMBERG: From the commercial side, we know that's
24 pretty much what is in the inventory and has to be dealt
25 with. The inventories of DOE-owned spent nuclear fuel, I

1 think it's on the order of around 2,650 currently in
2 inventory, and if you add potentials for I think it's
3 primarily farm research reactor fuel and additional naval
4 expended cores, there's an additional 100 metric tons
5 projected through 2030. So that 2,750, to my knowledge, is
6 the number that represents what would be in inventory by
7 2030.

8 DR. BREWER: Okay, thanks. One additional question, and
9 again, it's curiosity driven. In this wonderful marriage
10 that you've described between the two parts of DOE, I wonder
11 if you could characterize, from your point of view, what the
12 biggest problem or problems, or the biggest difficulties
13 you've got in trying to make this work.

14 MR. GOMBERG: From my point of view?

15 DR. BREWER: Yeah.

16 MR. GOMBERG: Okay. I think the biggest concern that I
17 would have is that we are potentially undertaking an activity
18 that will require a commitment to expend resources to collect
19 the data and to do the analyses necessary to demonstrate
20 under QA controls and other appropriate controls on the
21 activities that DOE-owned spent nuclear fuel is suitable for
22 geologic disposal. So I think getting that commitment that
23 we're willing to spend the time and effort to do those
24 additional things is the biggest challenge that I see right
25 now.

1 DR. BREWER: So it's a resource constraint, is that what
2 you're saying?

3 MR. GOMBERG: Yes.

4 DR. BREWER: Okay. Thank you.

5 DR. LANGMUIR: Langmuir, Board. Related question. I'm
6 wondering how your plans as a task group coordinated team
7 here play into the licensing schedule that the DOE has set
8 for itself.

9 MR. GOMBERG: One of the issues that we have raised is
10 to minimize impacts on both the waste management and the EM
11 schedules. And certainly it all developed from the impact
12 that we do not do anything at this point to jeopardize our
13 schedule for submitting an initial license application for
14 the Yucca Mountain site if it's deemed suitable.

15 One of the issues, then, is that schedule impact
16 and consequences, and what we've been trying to do is two
17 things. One is we have schedule networks that we have
18 developed both for the RW program and the EW program. We're
19 trying to lay those schedules together, and through that
20 assess the potential schedule driven risks that might be
21 identified and obviously raise those and work those as best
22 we can. In addition, we are trying to minimize the types of
23 activities that would need to be conducted, primarily through
24 focusing on those key differences with DOE-owned spent fuel
25 so that we have a realistic chance of conducting those

1 activities. In the event that we don't meet the 2001 license
2 application submittal, we had planned on amendments to the
3 license application. And there are certainly opportunities,
4 although I don't think they've been finalized right now, to
5 allow some additional years to look at trying to incorporate
6 additional waste forms into the repository prior to its
7 operation, you know, under NRC review and approval.

8 DR. LANGMUIR: John Cantlon?

9 DR. CANTLON: Yeah, Cantlon, Board. How many different
10 sites now in DOE are there spent fuel that belongs to DOE?

11 MR. GOMBERG: If I may, I'd probably want to defer that
12 to one of the Idaho or EM people, because I know there's a
13 lot.

14 MR. EDGERTON: Some of these questions here from Dr.
15 Brewer and the last question I think we'll talk about during
16 my presentation on the overview of the national spent fuel.

17 DR. CANTLON: Very good, very good.

18 MR. GOMBERG: Thank you very much.

19 DR. CANTLON: And following that up--again, if it's on
20 the docket for later, that's fine--the question is, how good
21 are the records on your oldest spent fuel? We have some
22 problems on records on some of the other wastes. How good
23 are the records on the spent fuel? Are we going to hear
24 about that?

25 MR. EDGERTON: I think the answer is we have some

1 challenges here and some opportunities.

2 DR. LANGMUIR: Carl Di Bella has some questions.

3 DR. DI BELLA: Thank you. Carl Di Bella, the staff. I
4 noticed in one of your earlier overheads that you intend to
5 exclude RCRA mixed waste from the first repository. Has it
6 been definitively determined which of DOE's spent fuels and
7 high-level wastes are RCRA mixed wastes and which are not,
8 and therefore which are candidates for the first repository
9 and which are not?

10 MR. GOMBERG: Okay, right now we are planning, we are
11 looking at the possibility of excluding RCRA, primarily
12 because of the dual regulatory authorities that would
13 potentially be involved and the complications that that would
14 create, and also an additional set of regulations and
15 requirements that really have not been tested for this type
16 of facility. EM--and Brian, you look like you want to answer
17 this to--is undergoing a characterization effort to identify
18 which of their spent fuels are RCRA materials. They've been
19 meeting with the EPA and various other groups, and I think
20 you will probably discuss that later on.

21 MR. EDGERTON: Touch upon some of the sodium bonded
22 fuels we have, the EPR type fuels. Gary McDannel also has
23 been involved in this characterization study that Steve's
24 referring to. Maybe we can talk a little more in detail
25 about that also later.

1 MR. GOMBERG: Right now, the fuel that looks like it's
2 our biggest issue regarding RCRA characteristic is our sodium
3 bonded fuel. There are others.

4 DR. DI BELLA: Another question. You said one of
5 OCRWM's goals is to give early guidance to EM, I guess, in
6 very specific individual fuels and wastes as to what they
7 could do or not do to make things compatible or not
8 incompatible with the repository.

9 MR. GOMBERG: Right.

10 DR. DI BELLA: Have there been any instances in the last
11 year where either this new coordination group or just OCRWM
12 in general has given such guidance? Could you tell us what
13 they are?

14 MR. GOMBERG: I guess there have not been, to my
15 knowledge, specific instances. However, I think EM is also
16 very familiar with the regulations that we need to comply
17 with, and I've been very impressed of their knowledge of our
18 program. I think the biggest challenge that I would say--and
19 obviously we've been working to try to work together to
20 develop guidance--is on the disposition of the N-Reactor fuel
21 up at Hanford. For various reasons, not the least of which
22 is that represents about 80 percent of the inventory of the
23 fuels. We've discussed and through the Repository Task Team
24 primarily have discussed other issues or other challenges
25 that may say that certain waste forms may not be suitable for

1 direct disposal. But until we actually start, you know,
2 conducting some more detailed analyses and whatnot and
3 looking at some of their long-term performance, which we're
4 trying to get underway as soon as we can, it's more a
5 discussion phase than an actual formal guidance phase.

6 DR. LANGMUIR: Dennis Price?

7 DR. PRICE: Dennis Price, Board. You mentioned that you
8 intend to recommend data needs and activities to allow the
9 integration of DOE spent nuclear fuel into the OCRWM System.
10 To what extent do you crank into that operational things?
11 And there's generally--my impression, anyway, is that there's
12 a lack of specificity with regards to operations as you cut
13 across all of these things that you showed in your initial
14 diagram of the flow of these materials. There's not much
15 specific information at this time available about operations.
16 How much does that handicap your view of the design and your
17 view of things in general?

18 MR. GOMBERG: Okay. Two standpoints. One would be from
19 the standpoint as far as ultimate acceptance of DOE-owned
20 spent fuel into the Waste Management System. I tend to break
21 them up, at least in my own mind, into two parts. One is
22 suitability. Are they suitable to meet the broad regulatory
23 requirements that we will be challenged on? And if they are
24 and if we do accept them into the system, what are the key
25 operational design and other considerations that will come

1 into play? But one other thing that we will be able to learn
2 from from EM is the fact that they are currently managing
3 these waste forms safely right now and plan to continue to do
4 so. They're going to look at dry storage and various other
5 things which may have applicability to our program and how we
6 would ultimately handle and operate our facilities.

7 Certainly operations is a key construct of our overall
8 program, and I think as you indicated, we will have more
9 operational knowledge as we have more information and more
10 detail on the repository designs and on the characteristics
11 of the waste forms that would allow us to identify
12 operational constraints as we move through the design and
13 acceptance of the fuel into the system.

14 Doesn't look like that answered your question,
15 though.

16 DR. PRICE: Well, no, I really would like to understand
17 specifically how you, from the systems standpoint, are
18 wrestling with the operations and how quick some of these
19 things are really going to become part of your--are you
20 culling out data needs and things and a need for further
21 operational specificity? I'm not sure that operations aren't
22 lagging behind in response to the kind of informational needs
23 that you need to have to do your job.

24 MR. GOMBERG: Certainly on the slides near the end of
25 the presentation that identified the issues, transportation

1 operations and design and repository operational surface and
2 subsurface design considerations are two of several of the
3 issues that we need to tackle. In the process we're at right
4 now, they're at the Task Team level, where they are
5 developing the specific issue resolution approaches and the
6 data needs that we will need to collect. So from that
7 standpoint, it's somewhat early, so I don't have specificity
8 to lay out to you right now, but we felt they were important
9 enough to raise as key issues and hopefully get some
10 resolution, including the data needs and the information that
11 we would need to design a safe system.

12 DR. PRICE: Okay, thank you.

13 DR. LANGMUIR: Bill Barnard?

14 DR. BARNARD: Bill Barnard, Board staff. Steve, on your
15 11th slide you indicated that there's 7,000 metric tons of
16 defense waste that's slated for disposal in the first
17 repository. What's the current DOE estimate on the total
18 amount of defense waste that will require disposal in a
19 repository?

20 MR. GOMBERG: If you take the DOE-owned spent nuclear
21 fuel inventory and then you look at high-level waste from
22 Savannah River, Hanford and INEL, I think the numbers that
23 crop up into my mind are approximately 11,000 MTHM. Now,
24 this assumes that we have a method that's agreeable that will
25 allow us to equate glass or ceramic waste forms to MTHM, but

1 it's around 11,000 under the current Method B, I think is the
2 current method.

3 DR. BARNARD: Does that include the single shell tanks
4 at Hanford?

5 MR. GOMBERG: Yes.

6 DR. LANGMUIR: Langmuir, Board. I had another question
7 related to that famous Overhead 11. There's some mathematics
8 there that is simple, but I wonder, if federal statutes
9 remain as currently they do with regard to commercial high-
10 level waste receipt and disposal, where does the 22,000 MTU
11 that you have left of commercial fuel go? Where does DOE
12 plan to put that up to 2030?

13 MR. GOMBERG: That's a good question, and we get that
14 question a lot. We don't feel right now that it is
15 appropriate, that we have the information or the data,
16 specifically on the Yucca Mountain candidate site, to
17 necessarily go in 2007 and recommend a need for a second
18 repository. We know we have a statutory limit on the first
19 repository; what we don't know is what the actual physical
20 limit of the repository is, and that's one of the
21 considerations that we feel that we need to be in a better
22 position to understand prior and as part of going to Congress
23 on the need for a second repository.

24 We issued a report--and I have to admit I do not
25 know the status of the final report, but it was basically

1 plans for the disposal of high-level waste and spent fuel
2 under Section 803 of the National Energy Policy Act. Must be
3 back '93, I think, we issued that report. And the conclusion
4 was basically that until we have a better sense on the
5 physical limitations of the site based on thermal loading and
6 other sorts of considerations and what the actual areal
7 extent of the repository block are that's suitable for
8 disposal. We are not really in a position right now to go to
9 Congress and ask for lifting that 70,000 metric tons, even
10 though obviously by simple mathematics we would exceed that
11 if we were to accept all this waste into repository disposal.

12 DR. LANGMUIR: Thank you, Steve. We're right on
13 schedule now.

14 MR. GOMBERG: Okay, thank you.

15 DR. LANGMUIR: If there are further questions of Steve--
16 he's been very gracious to respond to so many--we'll have
17 time later in the meeting to, I think, ask them perhaps at
18 the round table.

19 The next presentation is by Brian Edgerton,
20 overview of the DOE-owned Spent Nuclear Fuel Program, status
21 of the programmatic SNF environmental impact statement, and
22 the SNF record of decision.

23 MR. EDGERTON: Good morning. Again, it is a good
24 morning, we all look outside. I am with DOE-Idaho and also
25 with the EM-37 Headquarters Program for which INEL has a lead

1 integration role for the National DOE Spent Nuclear Fuel
2 Program. I think the presentation I have will build upon
3 some of the discussions by Mr. Gomberg and perhaps further
4 answer some of the questions related to the inventory and the
5 characteristics of the general DOE spent fuel inventory
6 across the entire Department's complex.

7 I'll talk briefly about the National DOE Spent Fuel
8 Program formed within the Energy Waste Management EM Group.
9 It was established in early 1993. Primary objectives of this
10 national program is to support policy development, undertake
11 a strategic cross-cutting planning responsibility for EM or
12 DOE spent fuel, coordinate that among DOE line organizations
13 directly responsible for the management and facilities for
14 DOE spent fuel, general oversight and program integration,
15 and primarily chart a management course of action for
16 ultimate disposition of all DOE spent fuel, which is the
17 theme of the program and my presentation this morning.

18 Again, the mission is the safe interim storage and,
19 for the next period of time preparatory to the final
20 permanent disposal of DOE spent fuel, which is the end
21 objective of the spent fuel program.

22 We have taken somewhat of a systems approach for
23 the management of DOE spent fuel, initially looking at the
24 assurance for existing storage conditions and management,
25 recognizing there has been a very open document here a couple

1 of years ago with the EH vulnerabilities assessment report
2 for DOE spent fuel, reactor radiated nuclear materials,
3 looking at the inventory characterization necessary for that
4 safe existing storage, of course store and transfer SNF,
5 consolidate spent nuclear fuel management for the existing
6 conditions where appropriate, and eventually to deactivate a
7 release facility that's no longer needed.

8 The middle block, the middle bridge here, for the
9 longer period of time, is to achieve what we call interim
10 storage, and that could be anywhere from 40 or more years,
11 depending upon the schedule and acceptance of some of this
12 material in the first repository or a second repository.
13 Again, inventory and characterize as necessary that spent
14 fuel for the safe interim storage management, stabilize,
15 transfer, again consolidate as necessary, and where
16 appropriate release surplus facilities.

17 End objective is to prepare for ultimate
18 disposition of this material, appropriate characterization
19 being the Waste Acceptance Criteria we talked about earlier
20 with Steve, to appropriately condition and eventually
21 transfer that DOE spent nuclear fuel and ultimately to
22 release these interim storage facilities as we move into
23 permanent repository disposition.

24 This builds upon the famous Slide No. 11 we talked
25 about last. I'll talk a little bit more about the relative

1 comparison of DOE spent nuclear fuel to the commercial.
2 These numbers are consistent with what Mr. Gomberg talked
3 about. Currently we're looking at inventory of about 2,646
4 MTHM for DOE spent fuel. In the year 2035, which is the
5 somewhat arbitrary 40-year planning period that was addressed
6 in the programmatic spent nuclear fuel Record of Decision
7 that Mike Bonkoski mentioned earlier, we're looking at 2,742,
8 just under 100 metric tons additional generation of spent
9 fuel. That compares with the 32,000--I think it's a little
10 lower than the number you had, Steve, but comparable--and
11 around 86, 85,000 metric tons in the 2035 time period.
12 Eighty percent currently on a mass basis and less than three
13 percent in 2035.

14 I will add, though, that even though it's a small
15 amount of fuel relative to the commercial, to Dr. Brewer's
16 question, I think in my opinion the diversity of fuel that we
17 have to manage compared to maybe 20, 25 types of commercial
18 spent fuel--we have in excess of 90--is probably a very
19 strong challenge for us to deal with here as we work towards
20 conditioning, stabilizing and preparing for ultimate
21 disposition of this material.

22 Talk a little bit about the distribution,
23 currently, of the DOE spent nuclear fuel. That may be a
24 little hard to see for some of the people in the back. I'll
25 start west and work way east here.

1 I think as Steve mentioned, the bulk of the spent
2 nuclear fuel inventory for DOE by mass is at the Hanford
3 site, the N-Reactor production fuel, approximately 80
4 percent. I think you're familiar with, Board, from
5 discussions last year at Hanford on their activities as they
6 move forward for a path to stabilize, to prepare for interim
7 storage, and ultimately for disposition of that hopefully in
8 a repository. Aluminum, stainless steel, zirconium
9 primarily, a very dense material. I call them like logs
10 almost, 30-inches long, 52 pounds per log. Some degradation
11 concerns, obviously, in the KE Basin particularly.

12 At the INEL we have 261 MTHM currently. The INEL
13 probably has the greatest diversity, definitely has the
14 greatest diversity of spent fuel. We have representatives of
15 almost every type of spent fuel at the INEL currently other
16 than the N-Reactor production fuel. Aluminum, clad graphite
17 fuels, hastelloy, stainless steel, zirconium, some without
18 cladding, mostly wet storage.

19 We have a commercial demonstration facility, the
20 Fort St. Vrain, Public Service of Colorado. Approximately 16
21 MTHM graphite matrix to fuel currently stored there at a
22 licensed facility, modular storage facility. Talk about Oak
23 Ridge with 1 MTHM, small amount, mass and volume, aluminum,
24 stainless steel, zirconium, some diversity of fuel. The
25 Savannah River site, a little over 200 metric tons, primarily

1 aluminum, nickel, some special case commercial zirconium, and
2 then we have some special case commercial fuel, as most
3 people are familiar with West Valley in New York, 27 MTHM.

4 We do have a diversity of cats and dogs type fuel,
5 if you will, scattered through a number of laboratories.
6 I'll talk about that briefly, associated with some of the
7 special research reactor fuels, university fuels and some
8 commercial examination type fuels.

9 Again, just to kind of emphasize a point from the
10 preceding slide, by mass, Hanford has approximately 80
11 percent of the fuel, about 10 percent INEL, 10 percent at
12 Savannah River, the remainder scattered across the complex.

13 For an interim storage management standpoint, I
14 think other measures we look at, I think of more relevance,
15 perhaps, is the volume of spent nuclear fuel that DOE
16 currently owns. The INEL, based on a volume basis, has over
17 700 cubic meters out of about 1,300. So over 50 percent of
18 the volume of DOE spent fuel is currently managed at the
19 INEL; Hanford 17 percent because of the high density of their
20 production fuel; Other, 16 percent; Savannah River about 13
21 percent.

22 Again, if you've got the hard copies, you can see
23 there's quite a diversity of fuel locations for that "Other"
24 category: Brookhaven; Los Alamos; Oak Ridge; I've mentioned
25 the West Valley, approximately 12 cubic meters; we have a

1 minor amount of fuel at B&W Lynchburg that we're looking at
2 consolidating; some domestic non-reactor university fuels;
3 and of course the Fort St. Vrain is quite a--about 160 cubic
4 meters of spent nuclear fuel located there.

5 I mentioned earlier the primary theme and mission
6 of the DOE Spent Nuclear Fuel Program is to in a systematic
7 manner manage and move towards ultimate disposition of this
8 material. Very closely allied with the OCRWM program for
9 commercial spent fuel, we hope. This graphically--kind of an
10 artist's rendition--reflects the, if you will, mission
11 profile of the DOE Spent Fuel Program. Over 90 percent of
12 our fuel currently is in temporary pool storage, 10 percent
13 in dry type storage, cask storage or vault storage. We are
14 looking at moving this material into a safe interim storage,
15 the middle block I mentioned earlier for our systems
16 approach. We anticipate primarily dry storage to
17 appropriately characterize and stabilize and consolidate that
18 fuel.

19 And over time we hope to, consistent with the
20 current repository schedule, begin moving DOE spent fuel that
21 meets Waste Acceptance Criteria, that's been properly
22 characterized and stabilized, for which appropriate fees have
23 been paid, into the commercial repository. As Steve
24 mentioned, there is a systems approach being looked at,
25 starting this month, as a matter of fact, to consider the

1 allocation of high-level waste and DOE spent fuel in that
2 historic ten percent allocation for the first repository for
3 defense high-level waste and spent fuel.

4 DR. CANTLON: What's that end date out there on the
5 right?

6 MR. EDGERTON: You aren't supposed to see that. No,
7 that's 2035. That's somewhat of our arbitrary date. We've
8 got this broken line here, recognizing there's quite a bit of
9 uncertainty in that 2035 date. Again, that was the 40-year
10 period that has been considered by the spent nuclear fuel
11 programmatic EIS just recently completed.

12 Again, to amplify, we're looking at ultimate
13 disposition of this material working closely with the Office
14 of Civilian Radioactive Waste Management. As progress in
15 this area, there's been quite a bit of discussion internally
16 within Department of Energy. We have a recent Secretarial
17 Action Memorandum signed in the end of March that states as
18 part of that Action Memorandum that is our--DOE's--intent,
19 preferred alternative, if you will, preferred option, to move
20 as appropriate DOE spent fuel into the first repository,
21 within that ten percent historic allocation.

22 We are looking at screening criteria as we go
23 through the great diversity of fuel that DOE owns, looking at
24 what can perhaps go directly into the repository utilizing
25 perhaps a Multi-Purpose Canister or similar concepts,

1 particularly the high-integrity fuel, the special case
2 commercial fuel that's very comparable to the commercial type
3 fuel already slated for the repository. Some of the fuel
4 will quite likely require minor conditioning. A possible
5 example of that would be the N-Reactor fuel, where we have
6 the concerns for hydride surface formation. There may be a
7 need for some sort of oxidation stabilization and
8 canisterization of that material in preparation of it going
9 to the repository or a repository.

10 Finally, we have a third category that we recognize
11 because of the fuel nature, the degradation, the fuel
12 characteristics. It will require perhaps substantial, fairly
13 intrusive mechanical and/or chemical stabilization. We'll
14 have some discussions later on today, I believe, about some
15 possible technology options that could be used in that
16 category.

17 Again, as far as the path forward for DOE spent
18 fuel, we are looking at working at very closely with the
19 OCRWM program, looking at particularly the high-integrity
20 fuels--the naval fuels for example, although they're high and
21 rich, they're very integral fuels--the commercial type fuels
22 which we now have in the DOE inventory as primary candidates
23 for the first repository, perhaps direct disposal wherever
24 possible. We're looking at R and D and conditioning
25 technology applications for some of the intermediate fuels,

1 such as the N-Reactor fuels possibly, and the more reactive
2 fuels.

3 We do have Three Mile Island core debris, the
4 entire core here located at the INEL currently, approximately
5 83 MTHM. That is indeed core debris, it's not your classic
6 spent fuel that you would see in the commercial side. Very
7 likely we'll acquire conditioning technologies to prepare
8 that material for ultimate disposition in a repository.

9 We will work with the license application process,
10 the safety analysis process, work through OCRWM with the NRC
11 as appropriate, and in fact there have been some initial
12 discussions, I believe, in March with the NRC to relay the
13 DOE's intent to include DOE spent fuel directly where
14 appropriate with a high-level waste allocation in the first
15 repository. We're showing a 2010 date as the official date.
16 We all hope to stay with that. We recognize a lot of
17 uncertainty on the repository operations, but that's what
18 we're working towards here, and begin accepting DOE spent
19 fuel in that first repository approximately 2015. One of the
20 keys, we'll be working on the Waste Acceptance Criteria with
21 OCRWM, again, for the tremendous diversity of DOE spent fuel.
22 Again, I'd like to emphasize that we're looking at
23 direct disposition of DOE spent fuel wherever feasible,
24 recognizing that the balance will require various degrees of
25 conditioning, stabilization and canisterization to prepare

1 that material for a repository.

2 A very simple one-line flow diagram here. We have
3 looked at this at a much greater level of detail. We'll be
4 talking a little later this afternoon, I believe, about some
5 of the integration concepts being looked at at the INEL for
6 full treatment integration of our waste streams, including
7 DOE spent fuel, in a synergistic approach to prepare this
8 material for ultimate dispositions for these waste streams.
9 For DOE spent fuel, we're going to look at, of course, is the
10 material currently stable for existing or interim storage?
11 If yes, it goes directly into interim storage with
12 appropriate characterization. For those materials that
13 require additional stabilization, a good example, of course,
14 is moving into dry storage wherever feasible, moving out of
15 the temporary storage basins where they're currently located,
16 drying, handling, canning, and into a longer term interim
17 storage, both nationally and at the INEL.

18 As we jointly work with OCRWM to develop Waste
19 Acceptance Criteria, we're going to be looking at
20 stabilization of that material for repository acceptance.
21 There may be a processing involved for some of the fuels,
22 very likely processing involved, either mechanical, chemical,
23 or some combination thereof, as we prepare this material for
24 disposition in a repository or some other final solution or
25 longer term interim solution, recognizing there's a lot of

1 dynamics and discussions and Congressional debate and so
2 forth in this repository versus some sort of longer term
3 interim storage solution.

4 Talk a little more about how we're conceptually
5 looking at the DOE spent fuel relative to getting it to the
6 repository. From the reactivity, pyrophoricity concerns that
7 were brought up by Mr. Gomberg earlier, we recognize that
8 metal fuels, such as the N-Reactor fuel, will probably
9 require some sort of passivization or conditioning to prepare
10 this for stable long-term storage in a geologic repository.
11 As we mentioned earlier, for RCRA characteristic-type fuel,
12 we have sodium bonded fuels--I think the EBR 2 fuel's a good
13 example--that we have to look at in some manner removing that
14 RCRA characteristic so we can get this material to the
15 repository. There may be some technologies that can very
16 easily remove or leach that material from the RCRA. I think
17 Argonne will be talking a little bit about some of their
18 activities that may be very applicable to some of these RCRA
19 bonded fuels.

20 Part of the diversity that we are challenged by
21 with DOE is a diversity of fuel condition. You've seen the
22 N-Reactor fuels, some of the photos that are very, very kind
23 of enlightening, I think, to see some of the KE Basin, to say
24 the least. We have fuels that have gone through post
25 radiation examination, we've gotten fuels here such as the

1 LOFT that have been--the Loss of Fluid Test--here at the INEL
2 that were intentionally breached or failed as part of the
3 research work with the NRC for commercial reactors.

4 We have what I call the soft fuels or aluminum clad
5 fuels that were used for production reactors for research
6 activities that were, quite frankly, designed at one point to
7 be dissolved, reprocessed. With the phaseout of reprocessing
8 in the DOE in April of '92, we're looking at other
9 approaches. I think some of the processing technologies
10 historically are still quite applicable, perhaps, as to
11 aluminum clad fuels, particularly at Savannah River, and to
12 process those into an established high-level waste form such
13 as the borosilicate glass logs and stainless canisters.

14 Clearly, some fuels will require additional
15 characterization to confirm a path forward. And that goes
16 back to, I think, Dr. Cantlon's question here about how can
17 we use some of the old records, build upon these records that
18 are 35 or 40 years old in some cases? We've had recent
19 experience with some of our SNAP fuel that's stored at the
20 INEL of retrieving those records, and that's a very timely
21 process as this material becomes less and less accessible.
22 That provides a data base in which we can further
23 characterize or hopefully qualify for a repository or longer
24 term interim storage.

25 Looking at some of these basic criteria, we've got

1 kind of a rough cut on what we think from the DOE inventory
2 have a path to disposition. Fuel that is likely to be able
3 to go relatively directly we think at this point is
4 approximately 40 percent. This is used in, I think, a mass
5 basis. The N-Reactor fuel, for example, about 23 percent of
6 our fuel. Probably some sort of at least conditioning and
7 passivization. Hopefully not strong, intrusive
8 characterization, but that's still being looked at, as Steve
9 Gomberg mentioned earlier. The aluminum clad fuels, I
10 believe, we're looking still at approach to processing and
11 placed into the borosilicate glass log high-level waste form,
12 about 30 percent. Some of the characterization canning maybe
13 5 percent by mass. We mentioned the sodium bonded fuel, less
14 than 3 percent, but that will clearly require some sort of
15 conditioning to remove that RCRA characteristic.

16 I think a strong theme here, and it's been
17 developing over the last year, is a very close I think the
18 word was marriage or coupling of the commercial program in
19 DOE with the defense program and high-level waste program to
20 move this material in a systematic managed fashion into the
21 repository. As Steve mentioned, we have an active Steering
22 Group that's now underway and functioning. We have three key
23 subtasks or Task Teams. As a matter of fact, we have the
24 repository team meeting again later this week here at INEL to
25 pursue the waste acceptance issue, waste acceptance

1 development, and some of the criticality issues associated
2 with DOE spent fuel.

3 I think the Waste Acceptance Criteria is one of the
4 key issues that we have, the challenges that we have, to work
5 together mutually to look at some sort of approach to build
6 or couple that with the diversity of fuel that DOE now owns.
7 We are currently working with the license application. We
8 are involved with the license application annotated outline
9 to prepare our fuels data for the repository, MTHM
10 equivalence as a basis for fee payments, both for the high-
11 level waste and also for the DOE spent fuel, recognizing the
12 diversity, the research nature of the fuels, the low burn-up
13 and so forth for some of the fuels, high burn-up for some
14 other fuels. There will be some challenges here to get a
15 good basis and then, of course, to apply the resources
16 against that to make sure that to make sure that we are
17 clearly a part of that first repository.

18 As far as the NEPA integration, we are working
19 closely with RW Yucca Mountain Project Office. The
20 forthcoming Notice of Intent that will come now, I believe,
21 later this month on the repository EIS does include all DOE
22 spent nuclear fuel. The Navy is very actively working with
23 the MPC/EIS that is part of that ongoing NEPA analysis. We
24 recognize that will be an ongoing integration throughout this
25 program for both DOE and high-level waste and commercial

1 spent fuel.

2 Transportation issues.

3 The NRC interface has begun working closely through
4 OCRWM with DOE spent fuel. We're looking at a singular
5 regulatory and quality framework. We're using the RW0333P
6 where appropriate for characterization and preparation of our
7 DOE spent fuel for the repository.

8 You may have missed on that earlier graph, on that
9 flow chart, but we are looking at using external regulatory
10 approaches comparable to commercial for our DOE spent fuel
11 management.

12 Talk briefly about the Record of Decision that came
13 out last Thursday that is addressing the interim storage
14 management options that we have for DOE spent fuel over the
15 next 10 to 40 years, where best to locate that interim
16 storage management. Secondly, we're looking at the
17 capabilities, facilities, basically the infrastructure needed
18 for this interim SNF management and R and D activities that
19 may be needed to support this management during this interim
20 period.

21 I think some of the key issues are that as far as
22 an environmental impact, the impacts of all the options,
23 reasonable options, considered were relatively small impacts
24 between or among the alternatives were equal or even smaller.
25 Overall, environmental impacts were looked at as fairly

1 small, nonsignificant in many cases. Cost is not a
2 significant discriminator. We did look at some conceptual
3 life cycle costs for the various interim management options
4 for DOE spent fuel, primarily driven by how extensively used
5 existing facilities. Obviously substantial cost
6 uncertainties in some of these longer term cost projections.
7 There was a fair amount of overlap among the alternatives.
8 And again, not a clear "winner," if you will, or
9 discriminator.

10 Talk briefly about what some of the implications
11 might be for the Record of Decision for how we may reallocate
12 where appropriate DOE spent fuel for the interim management.
13 Again, we are looking at a regionalization by fuel type,
14 where Hanford material would stay where it's at. Since they
15 have the bulk of that material, they would work with their N-
16 Reactor for a path forward to repository disposition. Since
17 the INEL has a diversity of fuels, many of the less typical
18 fuels, the nonproduction fuels, the non-aluminum fuels would,
19 where appropriate, come to the INEL for interim management,
20 build upon the existing infrastructure that we have here. In
21 addition, the naval reactor fuel which has been coming here
22 historically would continue to come here for appropriate
23 examination and then interim storage and preparation for
24 disposition. Savannah River would likely continue to receive
25 the aluminum fuel from the foreign research reactors, the

1 university reactors. Some of the aluminum reactor fuel that
2 we have around the complex may be appropriate to consolidate
3 the Savannah River for appropriate processing, again
4 processing for stabilization for the repository.

5 I want to preface this is potential increases.
6 This is an upper bounding projection of what spent fuel could
7 be allocated at Savannah River. Again, the aluminum clad
8 fuel, what I call the soft fuels, for processing perhaps.
9 From a heavy metal content, roughly 7 metric tons over an
10 existing capacity of 206 metric tons inventory at Savannah
11 River. From a volume standpoint, a fair increase over there,
12 over 100 percent, foreign research reactor, university fuels,
13 some of the other aluminum fuels that are part of the DOE
14 complex now.

15 Closer to home, again, potential increases that are
16 bounded by the preferred alternative and Record of Decision
17 we'd be receiving, potentially, at the INEL the non-aluminum
18 fuels, the nonproduction fuels, looking at about 163 metric
19 tons potentially increase over the 261 metric tons over the
20 next 10 to 40 years and fairly substantial potential increase
21 in the storage volume required here at the INEL.

22 I think some of the key background elements of the
23 Record of Decision, it does establish a supporting path for
24 ultimate disposition of DOE spent fuel. The fuel
25 regionalization by fuel type builds upon, we believe, in an

1 optimal fashion, the existing infrastructure within the DOE
2 to responsibly, safely manage this material and prepare it
3 for disposition. A best balance of factors as far as
4 institutional infrastructure, technology application
5 development, balance cost approach, and I think it optimizes
6 the amount of transportation where needed. It also continues
7 to support the DOE and Navy mission defense, national
8 security mission, obviously, for the Navy, examination of
9 fuel research, the reactor support for research safety,
10 medical isotope reduction, and again, a management path for
11 moving towards ultimate disposition.

12 Clearly, and I think you'll see more of that as we
13 go through this discussion today, we are looking at a
14 parallel mutual management path for both DOE spent fuel,
15 working with the OCRWM program for their commercial fuel
16 program. We hope to integrate with that program without
17 impacting the commercial reactors fuel disposals.

18 Wherever feasible we are going to model equivalent
19 approaches to how we manage DOE spent fuel. I mentioned
20 earlier looking at external regulatory framework comparable
21 or identical where necessary or appropriate with the
22 commercial reactor program, using the Nuclear Regulatory
23 Commission and code of federal regulations for external
24 management regulations of the DOE spent fuel. Looking at
25 comparable repository performance assessment. We're looking

1 at comparable EBS systems, and wherever possible looking at
2 Multi-Purpose Canister use for INEL fuel, DOE fuel. I think
3 our theme here is to prepare as appropriately as we can for
4 what we call "road ready" staging preparation for our DOE
5 spent fuel to hopefully the first repository.

6 That concludes my formal presentation. Again, I
7 would welcome any questions. I think we have a few minutes
8 here.

9 DR. LANGMUIR: Thank you, Brian, we have less than one
10 minute. Does someone have a very brief question that's a
11 pressing question?

12 John Cantlon?

13 DR. CANTLON: Cantlon, Board. A number of the countries
14 in the world, France, Japan, perhaps the two outstanding
15 ones, look at spent fuel as a resource, not as a waste. And
16 my question is, is any thought being given to the fact you're
17 looking ahead here 40 years? Currently it's the U.S. policy
18 not to reprocess, but 40 years in the future there may be an
19 energy question about this. Is any thought being given in
20 the handling of these fuels that would essentially make
21 reprocessing or reuse of these materials more difficult? Is
22 any thought being given to that?

23 MR. EDGERTON: That's kind of maybe a little bit of a
24 trick question. You're of course aware of the Presidential
25 Decision Directive 13, and that's--

1 DR. CANTLON: I understand that's current policy.

2 MR. EDGERTON: Current policy is to proceed as outlined
3 here. We are looking at stabilization technologies to reduce
4 volume, to homogenize our diversity of fuel, to better
5 prepare for a Waste Acceptance Criteria and pause our
6 disposition. Some of the technologies we'll be talking about
7 today do segregate fissile material, for example. One could
8 say from a personal standpoint that may be appropriate to
9 hold that material for reuse in a fuel cycle. I personally
10 feel that way. I won't comment or cannot comment on what the
11 DOE's policy is. But we're looking at stabilization of that
12 material currently.

13 DR. CANTLON: I understand that. My question is, as you
14 look at that stabilization process, there may be alternatives
15 that would make future reprocessing simpler and cheaper, and
16 is any thought being given to the choice of those?

17 MR. EDGERTON: That's in the back of our minds as we
18 apply what I call a "systems engineering approach." It's a
19 look at not having to duplicate steps, not to box ourselves
20 into a corner as we move down the path.

21 DR. LANGMUIR: Thank you, Brian. I think we have to go
22 on. We're over the schedule now. There will be time later
23 in the day for further questions.

24 The next speaker is Al Hoskins. His topic is DOE-
25 owned spent nuclear fuel at INEL, description and current

1 storage challenges.

2 MR. HOSKINS: Thank you. Again, my name is Al Hoskins.
3 I'm manager of the Spent Nuclear Fuel Program for Lockheed
4 Idaho Technologies.

5 The first slide talks, as Brian mentioned in his
6 presentation, there are a large variety of fuels at the INEL.
7 I separated here just three of the parameters--cladding,
8 fuel meat, and the enrichment--and within those three
9 parameters there are 23 different combinations of fuels at
10 the INEL. Other combinations that bring in the fuel matrix
11 materials, the thorium content, the variance in thorium
12 content, the type of oxide use, such as the ceramics and so
13 on, will bring us on up to the previously mentioned 90-plus
14 types of fuel at the INEL. We have zirconium fuel, we have
15 stainless steel fuel, aluminum and graphite fuels at the INEL
16 in several different varieties. Our fuel meat includes
17 uranium metals, uranium alloys, alloyed with various metals,
18 including mostly the aluminum, we have uranium oxide fuels,
19 and uranium carbide fuels. We have enrichments that exceed
20 80 percent enriched fuels down through some that are above
21 and below the high-enriched, low-enriched breakpoint at 20
22 percent, and we do have some that are very low enriched.

23 Looking at the various examples of fuels that we
24 have, we do have some commercial fuel. We've been involved
25 with several test programs, some involving the Nuclear

1 Regulatory Commission, that have brought in commercial fuels
2 for those test programs. On the right we see one of the PWR
3 fuel elements, the classic Westinghouse 15 x 15 array. We
4 have some of that type of fuel in storage with the uranium
5 oxide pellets, the zirconium, and we have also stainless
6 steel clad commercial fuels in these assemblies.

7 An example of the test reactor fuels, we have the
8 Advanced Test Reactor fuel. The Advanced Test Reactor is one
9 of the several reactors at the INEL. This particular one is
10 using an aluminum fuel assembly. Dr. Fillmore is now holding
11 the dummy fuel assembly that we have for display. It is a
12 curved plate fuel using the aluminum alloy type assembly
13 construction. It's assembled with the holding assemblies on
14 the top and bottom. When we store that fuel, much of this
15 fuel was being reprocessed here at the INEL in previous
16 years, so much of the fuel we now have has actually had the
17 assembly cropped, where they've taken the in box and the
18 lifting assemblies off on both ends so that they did not have
19 that additional non-fueled waste that was brought into the
20 processing picture.

21 DR. BARNARD: Is that full scale?

22 MR. HOSKINS: Yes, that's a full-scale assembly there.
23 During the break, we'll move those back to one of the back
24 tables so people can see the display there.

25 Looking at another of our fuel types is the Fort

1 St. Vrain fuel. It's a graphite fuel. It uses a uranium
2 carbide fuel meat made into a small sphere. It's what they
3 call a trisoparticle coating with silicon carbide. And those
4 are then pressed into rods and then further placed into a
5 graphite block. This particular wafer, now this is just one
6 cross-section wafer of the actual block. The blocks
7 themselves, as shown here, are 31 inches tall. But that is
8 the assembly for the Fort St. Vrain fuel. We have the first
9 three segments in storage for that particular fuel. The
10 remaining assemblies are down at the reactor site in
11 Colorado.

12 Moving on to the storage condition, some of the
13 fuels are stored bare and intact. Some have been canned.
14 Much of the test reactor programs actually involve some
15 destructive examination of the fuels, and so some of those
16 fuels, once they followed the examination process, were put
17 into cans and we now have those cans in storage. As I
18 mentioned earlier with the ATR assembly, some of the fuel has
19 had the ends cut off as preparation for reprocessing. Test
20 reactor fuels have been declad in many cases as part of the
21 examination process that followed the tests done in the
22 reactor tests themselves and have undergone destructive
23 examination.

24 As was mentioned earlier, we do have the Three Mile
25 Island core debris in storage.

1 Well, let me come back. I was kind of hurrying
2 through some of those. Let me come back and talk a little
3 bit about this. This particular one--and it's not a very
4 good picture because we were trying to move from a video tape
5 under water to a still picture and on to an overhead and we
6 lost some of the clarity--but this shows again, looking at
7 the end of that ATR curved assembly, the plate type fuel. In
8 this case, the end fitting box has been removed, so you're
9 actually looking at the top of the plates in the photograph--
10 it's not very clear--inside an aluminum port in a fuel rack.

11 This photograph shows the storage of the stainless
12 steel clad EBR 2 fuel, and that fuel is made into small pins.
13 We have the pins loaded into stainless steel tubes and
14 sealed with a lifting ring on the top of the stainless steel
15 tube. Now, those again are the sodium bonded type fuels.

16 And the last slide talks to some of the more
17 recently canned fuels. We are doing and continuing to do
18 some recanning of fuels into stainless steel cans as part of
19 the interim storage of the fuel.

20 As Brian mentioned in his earlier slide, we have a
21 total of 261 metric tons of fuel at the INEL. For this
22 slide, I elected to use the number of assemblies or the
23 number of units we have in storage and the volume at each of
24 these sites.

25 Starting at the top, at the Test Area North, we

1 have a pool--and this was shown on the other slide--is the
2 storage pool. The major fuel in that storage pool is the
3 Three Mile Island core debris. It's currently stored in this
4 pool. We also have in this pool the LOFT reactor fuel. Also
5 at Test Area North, you see the storage pad there. The
6 storage pad includes three--or excuse me, the casks storage
7 on a pad. This is several different types of storage casks.
8 There'll be a little more description about that test
9 program subsequently in the agenda today. But this program
10 was part of an NRC-sponsored program for testing commercial
11 fuel in dry storage.

12 This photograph has moved to the Idaho Chemical
13 Processing Plant, and this particular photograph is CPP-666,
14 which is our newer storage facility. It began operation in
15 1984, and it has six storage pools, all stainless steel
16 lined, in a relatively new modern storage facility.

17 This particular slide has moved from CPP to the
18 test reactor area--I'm sorry, we have not. I didn't
19 recognize it. This is the South Basin or the South Pool or
20 the CPP-603. My perspective was bad on this photograph. The
21 CPP-603 South Basin Pool includes some naval fuel as well as
22 many of the test reactor fuels currently stored in this pool.
23 It's essentially the oldest storage facility in the DOE
24 complex. It began operations in 1951. Also at the CPP-603--
25 and this is reflected with the additional pools at 603--we

1 have the fuel stored on vertical storage hangers. Those
2 hangers go down underneath the floor deck plates, where we
3 have the fuel actually stored in either buckets or actually
4 hung from the hooks down in the storage basin itself. Now,
5 this again is water storage using these hangers.

6 DR. DI BELLA: Excuse me just for a moment, Al.

7 MR. HOSKINS: Yeah.

8 DR. DI BELLA: Carl Di Bella here. I think we're going
9 to visit tomorrow, those people that are going on tour--

10 MR. HOSKINS: Right.

11 DR. DI BELLA: --each of those three pools.

12 MR. HOSKINS: Yes, correct, those will be part of the
13 tour.

14 This is moved also. Within the CPP-603 facility,
15 there's an add-on facility, if you will, for storage of the
16 graphite fuels in dry storage. This is a dry storage system.
17 You see here the truck trailer being brought down. This has
18 represented the cask used for bringing in the Fort St. Vrain
19 fuel. It's brought to a vertical stature, moved into a cell
20 where the fuel is removed, and put into storage containers
21 and moved on into the storage cell. I think there's a
22 photograph of the actual storage cell here through the
23 shielding window. Again, this will be part of the tour
24 tomorrow. This shows the assembly.

25 Go ahead, we're pushing time here.

1 This is an aerial photograph, also at CPP, the
2 chemical processing plant. This is that 603 facility. The
3 graphite storage is on this side, South Basin, Middle Basin,
4 and North Basin. This also shows the storage in dry
5 caissons. Those are a vertical dry caisson down into the
6 ground. And again, the next photograph will show just the
7 top piece of that vertical caisson. We have also graphite
8 fuels as well as several of the shipping port LWBR-type
9 fuels.

10 This, now, has moved across the street to the test
11 reactor area, and this photograph shows the advanced test
12 reactor pools just outside the ATR reactor. And essentially
13 it's a canal for storage of the fuel while it's cooling,
14 before it's then transferred over to the chemical processing
15 plant for additional storage.

16 This is keying from the systems engineering slide
17 that Brian used earlier, where he had assuring safe existing
18 conditions moving on to achieving interim storage, and
19 ultimately preparing for final disposition. And as you see,
20 many of our existing storage facilities, many of those are
21 very old and the storage conditions in those facilities are
22 not adequate for a long-term storage in preparation for the
23 final disposal. And so our intent right now is to retire
24 many of the older facilities by use of construction of one
25 new facility in storing of the Three Mile Island fuel, use of

1 Multi-Purpose Canisters for much of the rest of the fuel, and
2 we will continue to use the new CPP-666 water storage
3 facility for principally the naval fuels and those fuels that
4 are continuing to be discharged out of the reactors that need
5 additional cooling. We have the plans as necessary for doing
6 the canning, conditioning, further characterization that's
7 required as we prepare the fuels to go into the Multi-Purpose
8 Canisters.

9 The next couple of slides briefly talk to some of
10 our near-term activities. As I mentioned in that earlier
11 slide, retirement of the facilities is one of our goals. The
12 CPP-603, which is again the oldest facility in the complex,
13 is first to be retired. And we have now moved 311 out of 378
14 fuel units that need to be moved per a court mandated court
15 order by the end of this calendar year. These are being
16 moved to 666. All of the fuel will be removed from the
17 facility by the end of the year 2000. We are continuing to
18 evaluate all of the fuels in the INEL as the needs for
19 conditioning, and then their further storage in Multi-Purpose
20 Canisters.

21 This slide talks somewhat to the facilities as
22 shown in that earlier depiction. The Three Mile Island
23 storage facility, the request for proposals for a new
24 facility was issued in February this year. We are reviewing
25 those proposals that have been submitted, and our intent is

1 to have the award of bid by the end of this fiscal year. The
2 EA, Environmental Assessment, and the Finding of No
3 Significant Impact from that EA is actually in current public
4 review.

5 That concludes the slides that I have prepared for
6 this presentation to just give an overview of the INEL.

7 Questions?

8 DR. LANGMUIR: Thank you, Al.

9 Questions from the Board? Dennis Price?

10 DR. PRICE: This can be directed to you, and perhaps to
11 also the previous speaker. In your consideration of fuel to
12 go in the MPC, with the wide variety of fuels and the
13 materials and so forth, what has been, in your
14 considerations, the role of filler for the MPC and ultimately
15 filler in the waste package?

16 MR. HOSKINS: There's been some discussion or some
17 examination of various fillers. One of the efforts now going
18 on--and we are looking very diligently at combining the high-
19 level waste disposition with the spent fuel disposition and
20 actually using a glass waste form as filler in the Multi-
21 Purpose Canisters around the spent fuel. That would involve
22 some phasing of operations, but it would significantly reduce
23 the total number of canisters that would then have to go to
24 disposal in the repository.

25 Other filler materials, we are examining the needs

1 and the potentials for using poisoning materials necessary to
2 maintain subcritical in using the high-enriched fuels that we
3 have in storage. So other poisoning-type materials would
4 also be examined. Some of the subsequent talks in the
5 performance assessments and the waste form identification
6 that are also coming up also talk to some of those
7 alternatives that we're studying.

8 DR. PRICE: How did some of these affect transportation?

9 MR. HOSKINS: The transportation is expected to be
10 acceptable using a glassified waste around the spent fuel
11 assemblies. The use of the poisons, essentially utilizing
12 the Multi-Purpose Canister, would be NRC licensed as it would
13 be then transported to the repository. So we don't
14 anticipate serious problems with transport.

15 Any other questions?

16 DR. LANGMUIR: I had a related question which perhaps
17 we'll hear about later today. Langmuir, Board. If you're
18 going to put glass waste around the spent fuel, perhaps we're
19 going to be talking about the stability of such a combination
20 both physically and chemically. Radiolysis effects on the
21 glass, for example. The boron is a neutron shield of some
22 sort. I'm a geochemist, so sometimes I don't know exactly
23 what I'm talking about on these issues, but obviously there
24 are lots of performance characteristics that have to be
25 addressed on such a marriage.

1 MR. HOSKINS: That's correct.

2 DR. LANGMUIR: Are we going to hear more about this
3 today?

4 MR. HOSKINS: In some respects we will hear about the
5 early planning, some of the early performance assessment work
6 that has been done. We are not completely done with all of
7 the examinations and work that must be done in order to
8 qualify those waste forms.

9 DR. LANGMUIR: Would you be doing all of that here?
10 Where would that work be done?

11 MR. HOSKINS: Part of the work will be done here, part
12 of the work would be done--actually, Henry Loo, in his
13 discussion, will talk about our performance assessment where
14 we're collaborating with the Sandia Labs in these performance
15 assessment works. Also the waste form identification and the
16 qualification of waste forms. We involve the other
17 laboratories that are working those sorts of issues.

18 DR. LANGMUIR: Garry Brewer? Excuse me, sorry, Steve
19 Gomberg.

20 MR. GOMBERG: Just two clarifications. I know it's
21 something we always discuss internally. Our program right
22 now is currently evaluating Multi-Purpose Canisters for
23 commercial spent fuel, and so the subcontract that M&O TRW is
24 in the process of is geared toward basket material designs,
25 the incorporation of potential filler--although that's, I

1 guess, optional, it's not to be precluded. EM has done some
2 feasibility studies of MPC's with the interest that during
3 this environmental analysis process, if we feel that it's
4 feasible from a NEPA and a programmatic consideration to
5 proceed with MPC's, then they would be ready, of course, to
6 facilitate as expeditiously as possible the standardization
7 of MPC's and to the overall program. Certainly their basket
8 designs would be different and various other things along
9 that line, and those all need to be taken into consideration
10 within the overall optimization of the MPC's within the
11 program. So I just wanted to try to point that out.

12 DR. LANGMUIR: I had a related question to all of that,
13 and that is, I would assume that quite a bit of thought is
14 being put into the interim storage process insofar as the
15 choice of interim storage mode adds a cost and a complication
16 to the ultimate disposal in the MPC. If you're going to take
17 it out of interim storage and go to MPC, what you choose for
18 the interim storage can make it very difficult, ultimately,
19 to get it in the MPC in a form you'd like to have it perhaps.
20 Is this being considered?

21 MR. HOSKINS: Yes.

22 DR. LANGMUIR: Is the interim storage approach that
23 you're using or proposing to use carefully being interplayed
24 with the MPC choices that might follow?

25 MR. HOSKINS: That's correct. The bulk of the fuels

1 that would go into interim storage, if possible, we will put
2 directly into MPC's. Those that we do not put into MPC's we
3 will put as a priority to move into dry storage so that they
4 are effectively moved one major element closer toward the
5 MPC-type storage and the repository. The interim storage of
6 the naval fuels will include the pool storage in the CPP-603.
7 That fuel is very robust, it does not deteriorate in that
8 type of an environment. So that particular fuel would
9 continue to be stored in the CPP-603--or 666, I'm sorry, 666.
10 And particularly we would be bringing in the thermally hot
11 fuels as they are discharged from the naval reactors and
12 brought to the expended core facility and then on down to the
13 chemical processing plant. And then, since that facility has
14 a finite volume, we would be moving out the, if you will,
15 older fuels, the cooler fuels, on in to Multi-Purpose
16 Canisters.

17 DR. LANGMUIR: Further questions from the Board? Garry
18 Brewer?

19 DR. BREWER: This is Brewer on the Board. Are their
20 parts of this system that would be really sensitive to
21 slipping in the schedule, the famous 2010? I mean, are there
22 parts of it because of the age, from your point of view--the
23 age of the facilities--let me reframe the question this way:
24 are there parts of this system which are absolutely
25 dependent on having a repository adhere to the schedule, and

1 are you doing contingency planning in case that doesn't
2 happen?

3 MR. HOSKINS: At this point, our program is not terribly
4 sensitive to slippage in the repository program. We would
5 intend to store the fuel in Multi-Purpose Canisters,
6 essentially on pads at the INEL, pending that repository. So
7 they would essentially be road ready, but the time frame
8 would not be a serious constraint in moving the fuels.

9 MR. EDGERTON: I guess I would add there's both a
10 technical answer, which you've gotten, and clearly an
11 institutional or what we call a political response. As far
12 as the de facto permanent disposition, we've clearly got to
13 keep pushing that so that we can continue to responsibly
14 manage the fuel for an interim period of time. There's a lot
15 of impatience on stakeholder standpoints for that slippage,
16 obviously.

17 DR. BREWER: That's why I asked the question. Thank you
18 very much.

19 DR. LANGMUIR: Thank you. Bill Barnard?

20 DR. BARNARD: Bill Barnard, Board staff. Are any of
21 your operations sensitive to funding concerns? I know that
22 you want to retire your 603 pool. Are there any other
23 facilities that it's critical that you retire?

24 MR. HOSKINS: The answer is yes, we are sensitive to
25 funding issues. We currently have adequate funding to retire

1 the 603 facility as per the schedule shown in the earlier
2 slide. Some of the other facilities that we are intending to
3 transfer fuels out of and retire we have requested the
4 funding, we have indications at this point that we will be
5 getting funding to begin that process. The possibilities
6 exist that some of that funding either would be rescinded or
7 would not be authorized, and that would delay the removal of
8 the fuels. But at this point in time, we do have that
9 funding, like I say, in place for the 603 transfers as shown
10 and requested for the additional transfers.

11 MR. BONKOSKI: We also have funding for removal of the
12 TMI fuel that's currently funded.

13 DR. LANGMUIR: Could you identify yourself for the tape?

14 MR. BONKOSKI: Oh, I'm Mike Bonkoski with the DOE Idaho
15 Operations Office.

16 DR. LANGMUIR: Thank you. We have time for one very
17 short question.

18 DR. DI BELLA: Quick one. Carl Di Bella. You showed a
19 picture of ATR fuel, I guess, in a pool in a fuel rack of
20 some sort, and on the top of that fuel rack looked like some
21 red crud or crust or corrosion product of some sort. Was I
22 looking at that correctly? What is that, is that a corrosion
23 product?

24 MR. HOSKINS: Yes. That particular photograph was taken
25 from video tape down in the CPP-603 facility, and there is

1 some corrosion product in that facility. The storage racks,
2 they are aluminum storage racks, and we are seeing some
3 aluminum oxide corrosion product on the racks themselves and
4 on some of the fuel.

5 DR. LANGMUIR: Thank you. I think we have to go to the
6 next speaker, who is Gary McDannel, and the topic is DOE-
7 owned spent nuclear fuel at INEL, systems engineering and
8 ultimate disposition challenges.

9 MR. MCDANNEL: I'm going to be talking about INEL spent
10 fuel and our systems engineering approach towards getting
11 this spent fuel finally disposed. There's some confusion and
12 some folks have different ideas on the definition of systems
13 engineering, and from our perspective, what we're trying to
14 do from a systems standpoint is to look at the end point of
15 where we're headed with this spent fuel, look at the big
16 picture there, identify those requirements that we need to
17 get there, look at some different alternatives to finally get
18 to the final disposition of that fuel, and then finally
19 criteria to evaluate those alternatives against each other
20 and then pick one that seems to be the optimum. So that's
21 our systems engineering approach towards final disposition.

22 This is a diagram that you've seen before, and the
23 thing I want to point out here--in fact it gets to Dr.
24 Langmuir's comments on what--my only complain about this
25 logic diagram is that it forces some sequential thinking. It

1 forces you to think, first I need to get to interim storage,
2 then I need to get to final disposition. And there are
3 certain things that can be done, for instance, with Multi-
4 Purpose Canisters that can essentially solve the interim
5 storage and preparation for final disposition in one swoop
6 there. But that's what this diagram shows, and really you
7 have to go through those sort of steps, but there are ways to
8 accomplish both of those in one step.

9 I don't intend to go through every one of these
10 blocks. The main things I wanted to point out here is that
11 one of the things that systems engineering tries to tell you
12 to do is it says, "Do the right things right." And our
13 strategic planning and direction effort here is really trying
14 to do, what are the right things that we should be doing with
15 spent fuel? And there are a lot of factors that go into that
16 and outputs that come out of that. And then we have a lot of
17 tactical planning, where, you know, we identify that we need
18 to get fuel out of our 603 facility and we need some good
19 tactical planning that ensures that that fuel is moved safely
20 from one location to the next. And our end goal here is to
21 get, as Al was mentioning, our fuel finally into an interim
22 storage location that is prepared for the repository and in
23 this road ready concept.

24 So looking at those objectives, then, and where
25 we're headed, we need to ensure that our operations are

1 conducted safely. We need to make sure that we're doing
2 things cost effective not only in the short term, but looking
3 at life-cycle costs as well. And one of the things we're
4 trying to do there to focus on that life cycle is look at,
5 you know, are there ways to accomplish this interim storage
6 and preparation for final disposition concurrently?
7 Systematic decision making; ensuring that we're complying
8 with our court orders, for instance, to move the fuel out of
9 603 and other regulatory drivers there. Consideration of
10 stakeholder concerns has been a major focus for us. A lot of
11 what we've heard from stakeholders is to try to minimize the
12 amount of transportation that you're doing and don't just be
13 moving fuel to be moving fuel, and make sure that whatever
14 you do with our fuel, make sure that it's road ready, get it
15 ready to leave the state.

16 And those have been major drivers in our path
17 forward, and then again focusing on getting this fuel
18 prepared for final disposition, and really trying to do that
19 only one time. If you have to move fuel into an interim
20 storage facility and then move it out of that interim
21 storage, you know, to something that's transportable for
22 disposition, those costs tend to accumulate there, and trying
23 to do that one time is a good cost saver.

24 Some of our constraints to accomplish our path
25 forward and to move forward. Of course we've talked about

1 the EIS Record of Decision that was issued. We do have a
2 court order to remove fuel from our CPP-603 facility. Brian
3 Edgerton mentioned our Vulnerability Action Plan Commitments
4 that we have from a study that was done a number of years
5 ago. Of course the decision to end reprocessing for uranium
6 recovery is a constraint for us in terms of future options.
7 We've got to meet our Repository Acceptance Criteria, and
8 then these dates and when the repository and license
9 application are coming up are other constraints that impact
10 our approach.

11 So from a systems perspective, we need to take a
12 look at those requirements and constraints and look at a
13 number of different evaluation criteria. How are we going to
14 determine what the right thing to do for INEL spent fuel is?
15 And so the different criteria we've looked at are: risk,
16 environment, safety and health risk; our costs, and there's
17 three different measures there, your short-term costs, a
18 flattened profile, and life cycle costs. The flattened
19 profile has to do with do you have a lot of facilities that
20 you're trying to build that all come on-line at the same time
21 at INEL and create a huge funding spike that is difficult
22 within the Department to fund those sort of things. So if
23 there's a way to flatten the profile, that's helpful, and of
24 course life cycle. Effectiveness: Does our approach really
25 get us to the in-state stakeholders? How much programmatic

1 risk? How flexible or robust is that option towards future
2 perturbations? I know it was mentioned, you know, what
3 happened if the policy changes on what we're going to do with
4 spent fuel down the road and recovering that and looking at
5 how robust these different options are relative to that?
6 Does it meet our mission? At what stage is the technology
7 and does it properly safeguard our fuel and information?

8 What I've got here is a list of some of these
9 alternatives, then, that we've looked at. There's many more,
10 and this actually is a subset that comes from a more
11 substantial logic diagram that puts these together. But
12 basically, you know, do we use our existing facilities; do we
13 upgrade those and expand them or look at new facilities? Wet
14 versus dry storage. There's some fuel that, you know, is
15 fine for wet storage and we haven't seen any problems with
16 it, plus it's required for cooling purposes. Do we look at
17 modular or stand-alone facilities? Transportable versus
18 stationary configuration, and different options, then, for
19 final disposition, whether it's to process that or to direct
20 dispose of it. So those are some of the alternatives we've
21 looked at.

22 From an overall systems perspective, then, some of
23 the critical decision points, again, are this Record of
24 Decision, which significantly impacts how much fuel we're
25 going to have so we know how much capacity we need in the

1 future. Another critical decision point is what is this
2 final waste acceptance going to be and will our fuel have the
3 necessary pedigree to meet that? Will we have MPC's
4 available in the time we need to do that?

5 So some of the issues coming out of that are: How
6 much existing capacity do we have in particularly dry
7 storage? That's where we would like to head with most of our
8 fuel. And some of those facilities that we do have and have
9 some excess capacity, there are some potential
10 vulnerabilities with that. Environmental Impact Statements
11 that are ongoing. There's one for the Multi-Purpose Canister
12 as well as the repository. Currently the Navy fuel is
13 included in this Multi-Purpose Canister EIS considerations.
14 And then looking at multiple fuel transfers, again not only
15 from a cost perspective but from a safety perspective and
16 stakeholder perspective as well, trying to minimize those.

17 Then, in order to illustrate how we've looked at
18 those different criteria and evaluated those different
19 alternatives, we'll use this kind of stop light approach here
20 that if it's red it doesn't meet the criteria; yellow; green;
21 and blue is a discriminator if it exceeds a criteria.

22 And this next chart then shows four of the major
23 alternatives that we've looked at at INEL for dealing with
24 our spent fuel and shows how we've looked at those
25 alternatives and how they've scored and compared one with the

1 other. And without going through a lot of detail on, you
2 know, why is this yellow and why is this green, I want to
3 make sure that we point out that where we're headed with INEL
4 fuel is to consolidate this fuel into transportable dry
5 storage configuration, which basically is the Multi-Purpose
6 Canister approach.

7 And it's important to take note of this note up
8 here, too, that for those fuels that are going to be direct
9 disposed, this approach of a dry transportable storage
10 particularly makes sense. Where the fuel may be processed
11 down the road, we want to try to use as much as we can
12 existing dry storage facilities or in some cases new dry
13 storage capability where we need to in order to store that on
14 an interim basis. But this is our preferred approach, and
15 it's not blue all the way across the board, it does have some
16 negatives, but that's where we would like to go at INEL.

17 Some of the pros and cons, then, of this path
18 forward is that it does have lower life cycle cost. One of
19 the nice things about Multi-Purpose Canisters is it's a
20 system that can interim store your fuel, transport it, and
21 ultimately dispose of it. So it's got some real advantages
22 from a life cycle standpoint. And basically because it does
23 this, it accomplishes interim storage and final disposition
24 in one step. It has strong stakeholder support because that
25 fuel is "road-ready." As soon as a repository opens, it's on

1 the road ready to go. The commercial and Navy approach is
2 down this same road, and so we can build upon the experience
3 and expertise that will come out of their efforts. Another
4 nice thing is it does levelize the funding. The Multi-
5 Purpose Canisters is a pay-as-you-go approach, so it
6 levelizes our funding. And it doesn't preclude any future
7 alternatives. You can pull the fuel back out of those Multi-
8 Purpose Canisters.

9 Okay, the negative side of that is it does create a
10 higher interim storage cost. Those Multi-Purpose Canisters,
11 depending on what the final design is, they're not cheap just
12 for interim storage. But from a life-cycle standpoint,
13 they've got some advantages. But just interim storage,
14 they're expensive. There's a lot of uncertainty in our Waste
15 Acceptance Criteria for the repository. Is it going to
16 accept HEU? Is our fuel going to have the pedigree necessary
17 to qualify it? And then the other negative is that in order
18 to get our fuel into Multi-Purpose Canisters, because of the
19 schedule associated with getting Multi-Purpose Canisters
20 built and designed, it potentially delays our consolidation
21 of a fuel at INEL a couple years. So there are some negative
22 things associated with it, but overall we think it's the
23 right approach.

24 So our future actions are to look at these existing
25 facilities and try to keep the fuel in those as long as

1 possible unless the fuel is deteriorating in those, and then
2 we need to get it out as rapidly as possible. We need to
3 look at this existing dry capacity and evaluate that cost
4 against new facilities. Which fuels can be direct disposed?
5 And we've already made some attempts at doing that, have an
6 initial stab at that that Brian Edgerton showed. Need to
7 make sure that the DOE fuels are considered in future EIS's.
8 One of the things we're looking at is a privatization
9 approach, which says if we're unable to get the funding we
10 need for some of these facilities, are there ways to
11 privatize that approach so that we can get the funding
12 through the private sector as opposed through the normal
13 system. So we're looking at some opportunities there. Need
14 to integrate this with our critical decision points and also
15 do some more sensitivity analysis with our evaluation
16 criteria.

17 So overall, this systems solution, when you look at
18 how our path here at INEL has gone forward, and by looking at
19 a systems perspective and looking at this final disposition,
20 the things that it's done and allowed us to do is move into
21 interim storage and get the fuel staged for final disposition
22 concurrently. We're looking at processing of those fuels
23 that are not likely to be direct disposed, and primarily
24 those are those sodium bonded fuels, the Experimental Breeder
25 Reactor fuels. And then integration with other sites, such

1 as shipping our aluminum fuel, which is consistent with the
2 EIS Record of Decision, down to Savannah River for them to
3 deal with there.

4 This is a listing, then, of some of these
5 disposition challenges that we really talked about. This
6 kind of pulls them together and summarizes them. The primary
7 concerns there, then, in the technical area, are with
8 canisterization of that fuel. How are you going to put that
9 fuel in there? And criticality control, particularly with
10 the DOE high-enriched uranium. From a regulatory standpoint,
11 you know, which of our fuels exhibit a RCRA characteristic
12 that would have to be removed prior to disposal? Safeguards
13 of that fuel. And then concerns with the repository schedule
14 and the impact that that has on us, which Al mentioned is
15 fairly minor, because we will get that fuel in that road-
16 ready configuration. And then interagency agreements and
17 fees associated with getting the DOE fuel into the
18 repository. And then there's a number of other secondary
19 challenges that are each being worked and focused on as well.
20 I won't go through those in detail.

21 But I will talk about, you know, what we are doing
22 to alleviate those major or primary challenges. In the
23 containerization area, we're looking at the MPC concept, and
24 again, it doesn't preclude future options because the fuel is
25 retrievable from those Multi-Purpose Canisters. Criticality

1 control, there's a number of assessments going on looking at
2 how those DOE fuels would perform in a repository.

3 The RCRA studies are going on trying to
4 characterize our fuel. And again, as we mentioned, the
5 sodium bonded fuel appears to be our worst case fuel. We
6 also have some issues and concerns with disrupted fuel. The
7 Silver Indium Cadmium control rod is melted in there with the
8 rest of the material and potentially could leach Cadmium.
9 And so there are other issues with RCRA, but sodium bonded is
10 our biggest issue. Safeguards, concern with HEU and with the
11 Navy fuel as well as other HEU.

12 Really, the major challenge we have is finalizing
13 this Waste Acceptance Criteria. If we can pin the tail down
14 on this thing, getting to that will be fairly easy. But
15 pinning that one down is, you know, a number 1 issue. And
16 then trying to make sure that we don't have to do a lot of
17 rework. You know, we're interested in once we get that Waste
18 Acceptance Criteria, that pins it down and we can go in that
19 direction and won't have to characterize now and characterize
20 later and keep on characterizing.

21 And then the interagency agreements that are going
22 on and the Steering Committee is working those issues.

23 Finally, in conclusion, then, I believe our INEL
24 path forward for dealing with spent fuel has evolved, and I
25 think that's been a healthy evolution. It's based on a

1 systems approach to finally reach the end point for our spent
2 fuel. The thing that is really important to happen is that
3 while we look at these alternatives that that doesn't stall
4 us, that we're allowed to continue forward on our path
5 forward where we look at other alternatives and just ensure
6 that we don't preclude those down the road for these future
7 perturbations or changes in policy. And I think our path
8 forward can overcome these challenges.

9 So that's all I had to say. Are there questions?

10 DR. LANGMUIR: Thank you, Gary, we have time for a few
11 questions.

12 John Cantlon?

13 DR. CANTLON: Yes. As I understand the present Act
14 essentially identifies defense reprocessing waste as the
15 8,000 metric tons that's allowable in the existing
16 repository. Do you require legislative amendments or
17 something new to make a substitute for spent fuel for the
18 reprocessing waste?

19 MR. MCDANNEL: Go ahead.

20 MR. EDGERTON: We have internally looked at that last
21 year within DOE, that exact issue, and we have an internal
22 general counsel position that's documented that says indeed
23 that we can directly dispose of our DOE spent fuel under the
24 current legislation. I know that is somewhat controversial,
25 but we have made that conclusion and are proceeding on that

1 basis.

2 MR. GOMBERG: It's based, by the way, not so much on the
3 high-level waste part of the definition but the spent fuel
4 part of the definition, which is any fuel irradiated in a
5 reactor. It's not necessarily specific.

6 DR. LANGMUIR: Question--Langmuir, Board--related to the
7 privatization. That was an interesting thought you posed. I
8 assume that implies you think you could save money by
9 privatizing some of the activities that INEL is
10 accomplishing. Is that a fair inference? How would you go
11 about that and what would that entail? Would that be a
12 savings, do you think?

13 MR. MCDANNEL: The privatization numbers that I've seen
14 --and they are preliminary--they don't show a substantial
15 savings, but they do provide a way to get those facilities
16 on-line, whereas, you know other options may not allow that
17 to happen. So it may not necessarily be a cost saver, but it
18 is a way to get those facilities funded so that we do have
19 them available and can move forward. Again, those are
20 preliminary numbers, but that's what we've seen so far. And
21 I don't know if some other folks can comment on that, but
22 that's what I have seen so far about that.

23 MR. HOSKINS: This is Al Hoskins. I just add that as I
24 mentioned on our path forward for the Three Mile Island fuel,
25 the bid proposals that we have are from the commercial

1 storage systems, if you will, the various companies that are
2 out competing with each other in providing dry storage
3 systems for the commercial industry, and we are utilizing
4 that as our standard, if you will, for building facilities
5 that would store the additional fuels. So we are using the
6 private sector wherever they have an expertise rather than
7 trying to reinvent or rebuild, if you will, within the DOE.

8 DR. LANGMUIR: Now, we're on schedule right now. We're
9 scheduled to have a break. Let's do so and reconvene at
10 10:30 for the next presentation.

11 (Whereupon, a break was taken.)

12 DR. LANGMUIR: Our next presentation is by Henry Loo.
13 His topic is repository disposition evaluation for INEL spent
14 nuclear fuel and high-level waste: performance assessments
15 and criticality analyses, a hot current issue.

16 MR. LOO: Good morning. I'm Henry Loo. I will be
17 talking about the work that has been completed so far as far
18 as the performance assessment and criticality analysis in
19 conjunction with the final repository disposition evaluation
20 for INEL spent fuel and high-level waste.

21 Before I start, I thought I would just kind of
22 cover a little bit of an outline of my talk. I'll give a
23 little bit of history, which I think you're going to hear
24 quite a little bit of it this morning. Cover a little bit
25 about what we did in Fiscal Year 1993, and then get into the

1 '94 performance assessment and criticality evaluation and
2 then cover the results and then kind of indicate, you know,
3 what we are doing currently and the future plans.

4 I think this slide kind of looks, you can probably
5 see, familiar to the slide that Steve put together. Back in
6 1992, when DOE decided not to reprocess spent nuclear fuel,
7 one of the things that was initiated was the INEL spent fuel
8 and the high-level waste program. At the time, when we
9 looked at the whole picture, we said, "Well, what do we need
10 to do as far as we've got spent fuel that's in dry storage,
11 underwater storage and the high-level liquid waste in the
12 tank farm and to bring it to final disposition in the mined
13 geologic repository?" One requirement, as Steve indicated
14 this morning, is meeting the performance requirements of the
15 final waste form in a repository environment. So at the
16 time, that's how the performance assessment was initiated, is
17 to make sure that whatever we do in the conditioning and
18 processing and taking care of or managing the spent fuel and
19 high-level waste would have a fairly good chance of meeting
20 the final disposition requirement. That's how the program PA
21 started.

22 So as far as the performance assessment is
23 concerned, I'd like to go over the purpose, is to really
24 initially assess the performance of the potential final waste
25 form as we see it in hypothetical geologic repository against

1 the requirement of 40 CFR 191 and 10 CFR 60. As Steve noted,
2 at this time, as far as the EPA standard for Yucca Mountain
3 hasn't been established and that we're, you know, waiting for
4 that. If that changes, we will have to change the
5 requirement as well.

6 The result is to really try to help us to identify
7 the Waste Form Product Characteristics, what the waste form
8 needs to be in order to meet the repository requirement and
9 guide a program as to how we should treat and condition the
10 waste, you know, to do that, at the same time meeting the
11 interim storage requirements. And it was not intended
12 originally when we started the program to support any kind of
13 licensing application at all.

14 The activity itself involves not just us but, you
15 know, multi-laboratories. We pretty much led the effort in
16 1993 when we first started. We contracted with Sandia
17 National Laboratory to do the performance assessment, you
18 know, who has been intimately involved with the PA process.
19 Savannah River has also helped us in the past year review the
20 criticality methodology and provide us some information on
21 the Savannah River high-level waste and inventory. Hanford
22 provided information on the N-Reactor, which I realize this
23 is INEL's spent fuel program that we're talking about, but we
24 did as part of the performance assessment include the N-
25 Reactor spent fuel in the evaluation. The RW folks have

1 kindly helped us; the B&W folks; and the TRW Environmental
2 Systems Service also helped us evaluate our criticality
3 methodology when we first started looking at criticality in a
4 little more detail in '94. Lawrence Livermore also helped us
5 when we finished finalizing the waste form based on what we
6 know in respect to the performance do the Waste Form Product
7 Characteristic Document.

8 After each one of the performance assessments, we
9 also had a technical peer review of a five- or six-member
10 panel on the various expert areas to make sure that we're
11 going down the right path. Some of those members you guys
12 may know of. Dr. Thomas Pigford is on the panel, as an
13 example, and Karsten Pruess, who is with the Lawrence Berkley
14 Laboratory. You know, he's involved in that. That's just a
15 couple names that were involved in the peer review.

16 As far as the--when we first started--the
17 performance assessment is concerned, the first year, in 1993,
18 we looked at five potential waste forms which addressed the
19 high-level waste that is at the INEL, the calcines, and then
20 two fuel types of that we have evaluated at the beginning.
21 Like Al mentioned earlier, we have over 90 some type fuel.
22 We cannot, you know, do a PA on every single fuel type. So
23 the very first initial performance assessment we kind of
24 grouped them into two different groups, one we called special
25 fuel and one we called graphite fuel, just to give us some

1 idea of how those two fuel types would perform. We did
2 include originally, even in the first performance assessment,
3 all the complex-wide glass in the repository that we have
4 proposed for the repository, you know, that we have
5 considered.

6 At the same time, as far as criticality is
7 concerned--maybe better to do it this way--we did look at
8 loading, you know, as far as the limit is concerned. We
9 limited the amount of fissile material in each one of the
10 canisters in the first and initial evaluation, and I'll get
11 into that a little further down below. And two of the waste
12 forms that we have considered out of the five, we did
13 consider processing all the spent fuel and removing all the
14 fissile material and then basically just having high-level
15 waste to deal with. And the other option that we looked at
16 was also diluting what we have. You know, take the spent
17 fuels, grind them up, dilute them with depleted uranium
18 before we put it in the ground. You know, it's kind of not a
19 very good way of doing it, but we did look at that, you know,
20 in 1993.

21 Originally, in 1993, we did not look at a tuff type
22 repository because, you know, at that time, we were directed
23 by DOE to consider other hypothetical repositories for our
24 spent fuel and high-level waste. And what we selected at
25 that time was an igneous rock--you know, a granite repository

1 similar to what Canada is looking at. And also we looked at
2 a bedded salt repository.

3 As far as the criticality is concerned, what we
4 did, like I indicated earlier, we pretty much limited the
5 amount of mass that is in each one of the canisters. For a
6 bedded salt repository, we're able to put 10 kg of fissile
7 material in each one of the canisters. The reason is mainly
8 due to the fact that the salt would creep and surround each
9 one of those canisters so there would be no more water to get
10 into the canisters, so that's why we were able to put that
11 high loading. As far as the rock repository is concerned,
12 all we could put in was around 700 g. We were a little bit
13 conservative in there, because you actually could probably
14 put probably around 800 gram, a little bit over 800 gram, but
15 we selected to use the 700 gram number. And one thing that
16 we did not consider in the first initial study is any kind of
17 migration of the fissile material from a canister, and then
18 assembly of that material further out in the far field. So
19 based on those assumptions, you know, criticality in the
20 first year, when we looked at it, it really isn't a problem.
21 We're limiting all the mass, you know, in each one of the
22 canisters.

23 Just kind of for informational purposes--let me
24 kind of put that slide back--as far as the concept of
25 emplacement, we were looking at it in 1993 as the borehole

1 type, which back then the RW folks were considering borehole
2 emplacement on the drift, you know, and then with clay
3 surrounding the canisters.

4 As a result of the 1993 study, we have a set of
5 recommendations, and based on that set of recommendations, we
6 kind of formulated to FY-94 PA Scope, which included the
7 waste forms, five type of DOE spent fuel, which is fairly
8 consistent with the fuel type that was indicated earlier by
9 Al and everybody else in the program. We looked at the ATR
10 type spent fuel, which is a high-enriched aluminum-type fuel,
11 Fort St. Vrain, which is a graphite spent fuel, and we looked
12 at Shippingport, which is a very robust spent fuel that was
13 high-enriched with zirconium cladding. We thought at that
14 time, because of the nature of the Navy spent fuel, the
15 classification problem, you know, we might be able to get
16 some feeling for using this. We felt that the Shippingport
17 PWR fuel would be fairly low robust, might give us an
18 indication of how the Navy fuel might perform.

19 DR. REITER: I have a question.

20 MR. LOO: Yeah.

21 DR. LANGMUIR: Leon Reiter?

22 DR. REITER: Leon Reiter, staff. Just a point of
23 information, is it Peach Bottom fuel, is that from the Climax
24 test?

25 MR. LOO: No, I don't think so. I think the Peach--I

1 guess I'm not that familiar with the fuel type. All I know,
2 it is a graphite-based fuel.

3 DR. FILLMORE: Denny Fillmore with Lockheed. There are
4 two Peach Bottom reactors. There was a pressurized water
5 reactor and there was a graphite reactor. We have both of
6 those fuels in the DOE community. In fact, both types of
7 those fuels are at the INEL. There were actually two Peach
8 Bottom refuelings. There was a Peach Bottom Graphite Core 1
9 and a Core 2. I am not familiar with the Climax test.

10 UNIDENTIFIED SPEAKER: Turkey Point.

11 DR. FILLMORE: Okay, that was Turkey Point, the Climax
12 test.

13 DR. REITER: Is that at INEL, Turkey Point?

14 DR. FILLMORE: Yes, we do have that.

15 MR. LOO: Okay, and then we do have some commercial
16 spent fuel that is here, the PWR commercial spent fuel, and
17 we looked at that, and finally the N-Reactor spent fuel.

18 As far as the high-level waste form is concerned,
19 in 1994 we looked at it in a glass-ceramic form, we think we
20 probably will not go that way because of some of the
21 evaluations, system engineering evaluations. But we did look
22 at it in 1994. We did look at the borosilicate glass waste
23 form, and then also, in the beginning of the initial PA
24 study, we looked at the loose calcine, even though we
25 recognize that it doesn't meet the requirement as being a

1 solid form, but at least gives us some reference base that we
2 could compare how the treatment and conditioning will be
3 able to improve the performance of the waste form in the
4 repository.

5 The type of repository that we looked at in '94 is
6 a tuff repository similar to the Yucca Mountain. And we did
7 look at two emplacement concepts, which is the drift
8 emplacement with 125-ton MPC and then a borehole concept for
9 the spent fuel that we looked at a 25-ton legal-weight truck
10 canister. And I know that since--at this point, I should
11 say, the RW folks have no intention of using that to emplace
12 fuel. But at the time when we started the '94 study, you
13 know, there were still some questions, so that's why we went
14 ahead and put that in there in our evaluation.

15 As far as criticality is concerned, we considered
16 the consequences and probability of such an event at
17 postclosure and what kind of impact it would have on the
18 total system performance, you know, as far as that's
19 concerned.

20 Again, we are looking at those two regulatory
21 requirements, 40 CFR 191 and 10 CFR 60. We did include a
22 dose to the public, you know, and tried to get some feel, you
23 know, what are we talking about a dose is concerned to be
24 released to the public.

25 The next two viewgraphs are fairly straightforward.

1 It's just a couple of viewgraph examples of what we did as
2 far as in the performance assessment. Like I say, the glass,
3 borosilicate glass in a container we've overpacked that would
4 be placed into a repository all is placed into a Multi-
5 Barrier Waste Package, which is the same concept that the RW
6 folks are doing right now for the high-level waste glass, and
7 then put it into the drift so it is drift emplaced.

8 And for spent fuel, this is just an example for
9 Shippingport. We're talking about putting 24 elements, as an
10 example, into an MPC and then put in the overpack or the
11 disposal container and then into a repository. And for the
12 LWT, we just kind of put them in the LWT and go into the
13 repository.

14 From a criticality evaluation standpoint, here's
15 just a real simplified tree flow diagram showing what we did,
16 realizing that some of those tasks were done in parallel and
17 not directly, you know, from one thing and then the other.
18 But this kind of gives a very general, simplified flow
19 diagram showing what we did. First we generated a fault tree
20 of what kind of event could lead to a criticality, and based
21 on that, in conjunction with the site characteristic and the
22 waste package material that we have selected, we kind of see
23 what kind of failure mechanism that would create a
24 criticality situation, and then determine which one of those
25 scenarios is plausible. From then we determined the

1 probability of the event and figure out if it did happen, you
2 know, what kind of fission are we talking about, thermal
3 output, and use that probability in the evaluation. Should
4 we include that in the PA? And if it's so small that we
5 don't have to include it, then it's just basically we
6 eliminate it. If not, then we would include it in the
7 complex PA to go ahead and evaluate what kind of a
8 criticality effect it would have on the performance--what
9 kind of effect criticality would have on the performance.

10 At the same time, Sandia also developed a dynamic
11 model to kind of take a look at and make sure that how their
12 dynamic interaction with the total system of the repository
13 and make sure that what the assumption that we have made is a
14 reasonable assumption.

15 I'm going to skip a slide here. The next slide
16 that I skipped just basically shows a little more detail on
17 the task that was done.

18 And this is what we kind of postulated based on our
19 evaluation that could, you know, for a high-enriched uranium
20 spent nuclear fuel containers. It could have water, highly
21 moderated, which is a water system with a slow reactivity
22 increase which is similar to the Oklo-type situation. And
23 another one that could be a fast reactivity increase with
24 later like a SNAPTRAN experiment that have been done in the
25 past. The other possibility is the low-moderated; you know,

1 pretty much a dry system with a slow reactivity increase like
2 a Fast Breeder Reactor, and then another one is the fast
3 reactivity increase, you know, like some of the LANL
4 experiments that were done and some of the accidents.

5 In our evaluation to date, we kind of feel that the
6 bottom three are a very unlikely event, you know, due to the
7 amount of water that will infiltrate into the repository and
8 whatnot in comparison to the very top event. So the
9 performance assessment in '94 we pretty much concentrated on
10 the more likely possibility, which is the high-moderated,
11 slow reactivity increase type situation scenario.

12 As far as the results are concerned, what we find
13 is that the consequences of a criticality, assuming a high
14 moderation and low reactivity, are fairly negligible. And
15 you're talking about a steady-state reactor limiting to about
16 1 kW because of the fact that the tuff type environment is
17 pretty much atmospheric pressure. If there's any more heat
18 than that, it will pretty much boil your moderator, your
19 water, away and any kind of criticality of event would stop.
20 With that kind of assumption, even if you assume that a
21 reactor 1 kW down there perking away, you're talking about
22 10^{25} fissions over the 10,000-year time frame. That is, you
23 know, fairly small as far as insignificant with what we've
24 already got there on waste that is placed in the repository
25 that was being under evaluation. If we're talking about

1 12,000 MTHM, if you assume that is spent fuel with a burnup
2 of 40,000 MWd/MTU, that's an amount of about 10^{30} fission.

3 But one thing that we did realize that what we have
4 evaluated to date that we cannot show that the possibility of
5 criticality could not be readily ignored as a scenario. We
6 need to evaluate it further and make sure that we understand,
7 you know, any kind of process and possibility a little
8 better.

9 I do want to point out that in our evaluation there
10 are a lot of uncertainties at this point as to the various
11 processes that we would have a lot of conservatism in there
12 that we need to go ahead and evaluate further, and then by
13 better understanding of those processes, we should be able to
14 reduce the probability of any criticality event to a very low
15 level. Some examples, the container, how long the container
16 would last, what kind of solubility are we talking about with
17 your fissile material versus your neutron absorbers material.
18 Those are kind of the examples that I'm talking about there.

19 As far as the performance assessment results are
20 concerned, based on our evaluation, together, the high-level
21 waste with the spent fuel, including the INEL, Savannah River
22 and Hanford, high-level waste glass appears to be acceptable
23 for compliance with 40 CFR 191. Now, there seems to be a
24 little bit of problem in some of the emplacement package
25 requirements of the one part per 100,000 per year release

1 rate that is indicated 10 CFR 60.113. Those specific
2 radionuclides, you know, that exceeded the regulation is
3 technetium-99 and carbon-14. The mean release rate exceeded
4 that requirement. That means with all the PA run that we
5 have completed, about 50 percent of the run exceeded the
6 allowable release rate. Same thing with iodine-129 and
7 uranium-238. We talk about there's a 10 percent probability
8 that with all the run that we have completed that we exceeded
9 the release rate. The majority of the contribution of the
10 release is coming from carbon-14, technetium-99, iodine-129,
11 uranium-234 and plutonium-237.

12 One little qualifier there is that depends on the
13 regulatory periods being evaluation. That little item, that
14 list up there, is considering the 10,000-year period. If
15 there's any kind of change in that, that's going to be
16 changed. If for some reason the NAS panel would recommend
17 that we look into a period of 100,000 years or more, you
18 know, those radionuclides will be different.

19 Based on the best available information that we
20 have in Fiscal Year '94, carbon-14 inventory in the DOE-owned
21 spent fuel did not violate the requirement of 40 CFR 191.
22 That's kind of a little bit different than what the
23 commercial fuel have. I know that they had some problem, and
24 I guess, Steve, you might check on that a little bit.

25 And one other thing that is important that we felt

1 is the solubility of the waste elements in the repository
2 environment. That has a very significant impact as far as
3 how much stuff that you could have in the repository.

4 Some of the open issues as a result of the FY-94 PA
5 analysis include verifying the acceptability of using ORIGEN
6 run ORIGEN2 computer codes to estimate the amount of
7 radionuclide inventory in the slow-cooker. When we make that
8 calculation, we are talking about using ORIGEN run at a 1 kW
9 level, which is quite a bit lower than what is normally used
10 by the code. So we need to go ahead and verify that.

11 At the same time, we have some ORIGEN run that when
12 we determine what is waste inventory or the radionuclide
13 inventory from the various fuel, they're all based on ORIGEN
14 run, and we're going back to making sure we have included all
15 the impurities. As an example, carbon-14, when they did the
16 ORIGEN runs, they didn't include any kind of impurities on
17 the nitrogen and whatnot. That is the major actor that
18 generates the carbon-14, and so does the other major
19 radionuclides. You know, we need to go back and get that
20 information firmed up a little bit better.

21 And then validate as far as the neutron absorber
22 material solubility. You know, how quickly could the neutron
23 get dissolved and removed.

24 DR. LANGMUIR: Henry, could you speed it up, we're over
25 time here.

1 MR. LOO: Oh, okay. Sorry.

2 And so the rest of them are pretty straightforward.

3 And then the activities concerned, PA activities
4 currently, right now we're doing an FY-95 performance
5 assessment for the DOE high-level waste. Because of some of
6 those being an uncertainty and, you know, indicator, open
7 issue that we need to kind of resolve, we selected not to do
8 a 1995 performance assessment for spent fuel. Kind of
9 evaluates different items right now that we're looking at
10 that we're verifying and finalizing in evaluation protocol.
11 And then future plans, we're planning on doing an FY-98 PA,
12 or earlier if funding allows.

13 That pretty much kind of concludes my presentation.

14 DR. LANGMUIR: Thank you. We have time for two or three
15 questions.

16 Dennis Price?

17 DR. PRICE: On your fault tree analysis, what did that
18 look like? Your top event was a criticality event. Did you
19 come up with a number of cut sets, and what was the minimal
20 cut set if you did and probability of occurrence of that cut
21 set?

22 MR. LOO: Well, the top event that we were more
23 interested in is, you know, could a criticality occur in the
24 repository environment based on the set of scenarios leading
25 to that event? And, you know, that includes various things

1 that we have looked at--human intrusion, drilling into the
2 repository, and allowing water getting into the repository,
3 as an example. So we looked at the sequence of what could
4 lead to a criticality and then developed a probability. And
5 what we have looked at based on the very conservative
6 assumption of in the 10,000 years, you know, the canister
7 will be breached to allow water to get in. Within 10,000
8 years, there's enough water that will infiltrate into the
9 repository that will allow corrosion and transport of all the
10 fissile material. All those conservatism, you know, right
11 now we're leading to a criticality number of 10^{-7} , the
12 probability of a criticality.

13 DR. PRICE: And how many events constitute the cut set
14 that would contribute to that 10^{-7} ? Certainly no single
15 point failures.

16 MR. LOO: No, no.

17 DR. PRICE: But numerous.

18 MR. LOO: Yeah, I think we're talking about at least
19 three or four, you know, plus.

20 DR. PRICE: How many cut sets were in the total fault
21 tree?

22 MR. LOO: I'd probably have to get somebody to help me a
23 little bit. Jim, do you remember how many cut sets when we
24 did the evaluation?

25 MR. WILSON: My name is Jim Wilson. I work with Henry

1 on the fault tree. I didn't do a count on the cut sets. I
2 would say it's on the order of 30, though.

3 DR. PRICE: And the 10^{-7} is the probability of the
4 occurrence of the minimal cut set?

5 MR. WILSON: No, that's all of them together.

6 DR. PRICE: That's the sum?

7 MR. WILSON: Yes.

8 DR. PRICE: Do you know what the probability of the
9 minimal cut set is?

10 MR. WILSON: Not offhand.

11 DR. PRICE: It's certainly much, much lower than that.

12 MR. WILSON: A fraction of that. Not a very small
13 fraction of that, but a fraction of that.

14 DR. PRICE: Oh, so the minimal cut set constituted a
15 good proportion of the probability of occurrence?

16 MR. WILSON: I would have to say probably. I don't
17 remember the exact number.

18 DR. PRICE: Yes. So if you had 30 cut sets, the rest of
19 them were rather low in contribution?

20 MR. WILSON: There were three groupings. There was a
21 grouping at a single criticality, there was a grouping at a
22 widespread common cause event that would influence a lot of
23 them--that was the lowest grouping--and there was a grouping
24 in the middle that would be a partial damming that would
25 affect say 10 or 15 waste packages in an area because of a

1 damming effect that gathered the water together around those
2 waste packages.

3 DR. PRICE: Rather than take time here, I wonder if we
4 could get a copy.

5 MR. LOO: I think the Board has ten copies of that
6 report.

7 DR. PRICE: Oh, is that right?

8 MR. LOO: Yes.

9 DR. PRICE: I guess I would like to see it.

10 MR. LOO: I mean, if you guys need another one, we could
11 send you one.

12 DR. LANGMUIR: We'll have to bring it to a close right
13 now.

14 MR. LOO: Okay.

15 DR. LANGMUIR: We're a little over schedule here. Thank
16 you, Henry.

17 MR. LOO: Okay.

18 DR. LANGMUIR: The next presentation is by Larry Taylor.
19 His topic is repository disposition evaluation for INEL
20 spent nuclear fuel and high-level waste: meeting waste
21 acceptance criteria.

22 MR. TAYLOR: Good morning. Looking at the weather, I
23 think I'm going to have to wax my skis to go skiing this
24 weekend.

25 One of the issues relative to completing a

1 performance assessment is developing a waste package concept
2 of what our waste packages would look like going into the
3 ground. And because of the nature of the performance
4 assessment and developing that Waste Package Criteria, it is
5 necessary that it's an iterative approach using systems
6 engineering concepts. And the idea is that you start with a
7 system design, and because this would have been busy, I've
8 broken this out so that what you see here, from a development
9 standpoint, ties in with this value over here.

10 Our concern is that we have to meet regulatory
11 requirements and we have to factor into that the geological
12 repository characteristics. Some of that is being done right
13 now by the Yucca Mountain personnel. Along with that we have
14 to look at our DOE fuels, their characterization, and the
15 performance assessment of those fuels within a given
16 repository environment. And then below that we'd look at it
17 from a concept of MPC's, overpacks, and the criteria for
18 those fuels in the package.

19 Continuing on down, we then have to get into the
20 characterization of the fuels, the individual fuel types, the
21 chemistries, the 'neutronics' of those fuels within the
22 packages. We'd look at material selection. Some of this is
23 going to piggyback on the efforts of Yucca Mountain. There's
24 no point of us having our own development program to look at
25 a materials performance for an MPC if we use a common design

1 with Yucca Mountain, and we would expect to be able to take
2 credit for their work in that area.

3 Component integration, then, we have to look at the
4 RCRA issues and the 'treatment.' They talked about the
5 sodium bonded fuels having to be investigated and whether
6 they could be buried in a repository. Issue of drying
7 operation, some of our fuels are stored wet. They would have
8 to be dried. To what extent we don't know yet.
9 Accountability issues for HEU right now appears to be fairly
10 rigorous. We're not sure the extent and how we would qualify
11 our fuels in that area, so that's going to have to be
12 investigated in some detail.

13 Eventually you'll get into the loading/packaging
14 and thermal affects going into the repository. Our wastes
15 are going to be cooler than your typical commercial nuclear
16 fuel package. Storage and transportation issues we have not
17 addressed directly right now, but certainly would have to be
18 a consideration when we look at a waste package ready for
19 road shipment. And then integrating that into the final
20 disposal option at the repository itself.

21 To meet a lot of these goals and needs, we have
22 started looking and tying in our work to the development
23 efforts that have been going on through Yucca Mountain, and
24 we basically started with their Waste Acceptance Systems
25 Requirements document that was issued, first revision, in

1 January of '93, and I want to put this in a time perspective,
2 because they're currently working on a Rev. 1 here. But this
3 was about the time frame when we started looking at how can
4 we configure or package our wastes so they would be
5 compatible with system requirements being developed for Yucca
6 Mountain? We used their guidelines but applied them to the
7 "second repository," because at that point in time DOE fuels
8 had not been identified as a material that could go into that
9 first repository, which I think answers one of our Board
10 member's earlier questions.

11 In conjunction with the completion of the
12 performance assessment, we also captured the nature of the
13 waste forms that would be inside that repository that would
14 qualify for performance assessment. Because this was a
15 second repository, we could get away with it. Normally, your
16 repository operator is the one that writes and establishes
17 the Waste Acceptance Criteria. Where there wasn't a second
18 repository, we had to put on another hat and say, "Okay,
19 we're going to be a repository operator, what would we expect
20 for our waste packages?"

21 With the advent of the '94 performance assessment
22 and a direction by DOE to look now at a tuff environment
23 similar to what was being studied at Yucca Mountain, we then
24 conducted the performance assessment and wrote a Waste Form
25 Product Characteristics document very similar to the Waste

1 Acceptance Criteria, but so as to tread lightly and not step
2 on oversensitive toes, perhaps, title change here. But it
3 captures, in essence, the details of the waste form that need
4 to go into a repository that would qualify for the geological
5 characteristics of that repository.

6 Work that's going on now is as a result of the MGDS
7 License Application Annotated Outline which has just come
8 out. We're now starting to look at--I'm going to skip down
9 here a minute; this is about Slide No. 8. We have extracted
10 from--and I'll have to ask you to refer to your overheads.
11 This is hard to read. It's representative of one requirement
12 of 115 that we are trying to interpret that Yucca Mountain
13 has said, "This is our interpretation of a regulation." This
14 is our interpretation of their interpretation of a
15 regulation, and here are the data requirements that we have
16 to fulfill to try and qualify that particular fuel type.
17 This is one of 115. We're expecting somewhere between 20 and
18 30 of them will be directly applicable to us where we will
19 have to go out and develop a pedigree for these fuels because
20 none of that exists according to the current standards that
21 are being used to judge spent commercial fuels. So that's
22 what we're trying to qualify in that area.

23 Our scope in development of the Waste Acceptance
24 Criteria to support packaging our fuels and getting them
25 ready to go to a repository is really an outgrowth of this

1 whole structure that more or less sums up a lot of the
2 concerns that the commercial people are going to have to deal
3 with. And this is the area that we're dwelling on right now
4 in terms of trying to fulfill the licensing requirements and
5 identify how our fuels would meet those criteria.

6 This is the performance assessment work that's been
7 going on through Sandia. We've been working with them in
8 trying to come up with concepts to combine wastes, looking at
9 the combination of putting HLW into a spent fuel package to
10 try and save volume. Some of those packages right now, I
11 think, are currently costed at about \$3 1/2 million per MPC,
12 so it's not a cheap proposition.

13 Along with that we will have a Waste Product
14 Specification so as we get into preparing these wastes and
15 putting them into a road-ready condition going into a
16 repository that will have the documentation in place that
17 says how these packages will meet Waste Acceptance Criteria.
18 Along with that you'll have a Waste Compliance Plan, Waste
19 Qualification Report, and then the actual production records
20 themselves.

21 I think an important point that needs to be brought
22 out, I think it's been discussed and alluded to earlier, is
23 that we need to make sure that we don't do something dumb in
24 our treatment or pretreatment and packaging of these wastes
25 that will require us to pull that material back out to

1 requalify it. And along with that, we must also spend the
2 time up front characterizing these wastes before we stick
3 them into an MPC given that we're not going to have
4 regulatory changes that once we've qualified them that now we
5 have to go back and requalify them because we didn't get
6 enough data on them in the first place.

7 Some of the requirements that are being stipulated
8 in the MGDS License Application are issues such as
9 solubility, oxidation, corrosion, mechanical strength, fire
10 explosions, thermal loads, radiolysis. And most of those
11 criteria have already been established or identified as
12 issues which must be addressed by the wastes going into our
13 waste packages in the Waste Form Product Characteristics
14 document which was issued in 1995. Those others we would
15 have to go back and look at now in more detail because they
16 were not part of the original Waste Acceptance Systems
17 Requirement document as we read it initially.

18 Along with those issues associated with the MGDS
19 will be those associated with neutron absorbers, criticality,
20 inventories, organics, materials considerations, package
21 labeling, Allowable Void Space. And all of those have some
22 type of a regulatory requirement driving them which we would
23 have to satisfy and meet to get our packages to qualify in a
24 repository.

25 Henry talked about the evolution of our waste

1 packages going from an individual canister concept where we
2 have relatively low fissile loadings on the order of--that
3 should be 700 grams, not .7, or 10 kg's in salt where we can
4 take credit for water exclusion. We went into the initial
5 study on the assumption that double contingency requirements
6 would be expected throughout the life of the repository,
7 which is 10,000 years.

8 The original concept, I think, in terms of disposal
9 of wastes in a geological repository was geared mostly
10 towards high-level waste and not towards long-lived fissile
11 products such as Highly Enriched U-235. We had always
12 processed that before, recovered it, and recycled it into the
13 system. When we went to a '94 assumption, because of the
14 number of canisters that this would generate, we've got to
15 say, okay, let's look at packaging them in a large package
16 and putting in fixed neutron absorbers, which were then
17 deemed acceptable. At this point in time, we've more or less
18 focused on Boron-10 tied in with stainless steel, probably in
19 a coded material that would be integral to the internals of
20 that package. There will be some type of a lattice support
21 on the inside. This is the same approach that's being taken
22 by Yucca Mountain for the commercial fuels right now.

23 Standard configuration for a PWR-type package is 21
24 fuel elements. I think they're a 17 x 17 array, fairly
25 standard design.

1 Shippingport, the elements are a little bit smaller
2 so you can put them in a little more dense. You would still
3 have to use Boron in terms of poisoning. We're talking about
4 B-10 enriched material. It would have to be done in a
5 special production run of whatever stainless steel we settle
6 on. This particular configuration results in something like
7 460 kg of U-235 in a single package. And you have to place a
8 lot of faith and credit in the fact that that Boron will stay
9 there not just for 10,000 years but maybe 100,000 or a
10 million.

11 Originally, we were considering putting ATR-type
12 elements in there, into an MPC. There would be three layers,
13 255 total. There is on the order of 235 kg's of U-235 in one
14 of those packages. Now, I guess, with the recent Record of
15 Decision, those ATR elements would probably be packaged and
16 shipped down to Savannah River for reprocessing, so this may
17 become a moot point.

18 But these are some of the issues that we've dealt
19 with in terms of examining criticality issues and trying to
20 come up with a creative way to put them in a minimal package
21 so that we don't have a long-term effect out beyond 10,000
22 years.

23 Fort St. Vrain, they were modeled with as many as
24 twelve. Normal packaging would probably be more on the order
25 of seven per element. These are stacked five deep. They

1 represent, I don't know, 150 or 170 kg's of U-235 equivalent.
2 I can't remember just off hand. Oh, yeah, 37.8. There's 54
3 percent enriched U-235 in there, so again, it qualifies as
4 HEU.

5 All of these packages had to be evaluated in terms
6 of presence or the likelihood of water ever entering the
7 packages and how they might behave were the water to get in
8 there and leach the poison away. Certainly one of our
9 concerns has been the potential for differential separation
10 of the adsorber away from the fissile material rather than
11 vice versa. We've discounted, at this point in time, the
12 prospect of a far field criticality. Everything we've looked
13 at has been locally within the package.

14 One of the key issues that we're working on right
15 now is identifying the specific fuel characteristics that
16 would be necessary to develop the "pedigree" that you have
17 with commercial fuels that we don't have with a lot of our
18 commercial test reactor fuels. If we start with something on
19 the order of 150 fuel types throughout the DOE complex, some
20 90 plus in storage at the chem plant, it would behoove us to
21 try and group or lump as many of those fuels together from a
22 characterization standpoint and then go ahead and develop the
23 pedigree on those particular fuels.

24 What we're looking at now is what the cost would
25 be, and it doesn't make a lot of sense to take a couple of

1 fuel baskets that might contain 15 or 20 fuel elements and
2 spend \$15 million trying to characterize those fuels if you
3 can lump them together with another fuel type that's very
4 similar and do all of it in one package. So, ideally, we
5 want to cut our fuel types down to a manageable 8 or 10, and
6 even at that we're talking on the order of \$10 or \$15 million
7 perhaps to qualify each fuel type just to get it to go into a
8 package.

9 The one key element associated with that is that we
10 now have facilities with modification that would be available
11 to do some of that hot processing. But if neither the
12 funding nor the desire to keep those facilities operational
13 at this point in time and get started on identifying these
14 characteristics of the fuels, characterizing them far into
15 the future, waiting till your 2010 or 2015, and then saying,
16 "Oh, gee, we've got to go out and get this data," we would
17 have a real problem trying to support the fuel
18 characterization requirements to meet the geological
19 repository requirements.

20 That is in summary what I wanted to talk about
21 today. Are there questions?

22 DR. LANGMUIR: Thank you, Larry.

23 Questions from the Board?

24 I had a more--Langmuir, Board--general question
25 about the INEL's abilities to deal with this. This sounds

1 like a major effort. And it's tough enough when you've got
2 spent fuel, and you need to characterize its performance, as
3 many of the labs are currently doing, looking at how it would
4 dissolve, its radiolysis effects, and how this would
5 represent a source term in a repository. But when you're
6 dealing with potentially several other kinds of forms and you
7 have, I gather, one organization here that's focusing on that
8 as a major effort, how are these several potential forms
9 going to perform and how will they impact the repository
10 source term for releases of radionuclides? I wonder whether
11 you have the resources here, personnel, with the expertise.
12 And I'm talking about hydrologists and geochemists--that's my
13 bias--along with other types of corrosion experts. I know
14 you have people like this around, but I'm wondering what the
15 size of your program is that's focusing on this effort and
16 your perception of how successful it can be in the time
17 schedule you've got to do it.

18 MR. TAYLOR: I don't know if I can give you a good clear
19 answer to that. We have a dedicated group of individuals
20 that is looking at packaging the different types of fuels.
21 We would be more interested, I think, in characterizing the
22 radionuclide inventory in certain fuels, where we have no
23 record of the actual time in the reactor, what the neutron
24 fluxes were, what the position of the fuel was, such as they
25 have in commercial fuels. We'll have to make some

1 simplifying assumptions in terms of beginning of life, end of
2 life type concentrations of uranium. We'll have to make some
3 extrapolations based on perhaps ORIGEN code runs rather than
4 neutron interrogation techniques. We'll have to look at the
5 fuel chemistries, such as how does uranium carbide perform in
6 a water environment? Because uranium carbide in an HTGR was
7 always running in a dry system, so all of the emphasis went
8 in the development of data relative to uranium carbide in a
9 dry environment rather than a wet one.

10 A lot of the actual chemistry work associated with
11 the fuels on the performance of those chemistries and
12 extrapolating them to PA results or data sets for use in PA
13 we're probably capable of at the INEL. A lot of the other
14 programs associated with Boron leachability, from stainless
15 steel, the performance of an MPC in a repository environment,
16 we would rely very heavily on the results coming out of Yucca
17 Mountain. And certainly that is one of the key elements in a
18 Steering Group, is trying to determine and define whose ball
19 it is to carry for some of these data requirements.

20 DR. LANGMUIR: I noticed your Steering Group started in
21 '94. That doesn't give you very much historic--

22 MR. TAYLOR: No.

23 DR. LANGMUIR: It's kind of late to start all of this,
24 it sounds like.

25 MR. TAYLOR: It is, granted. And I think it's a major

1 step that we've been able to finally get DOE and RW to start
2 talking to one another. In the past, it's been kind of you
3 have your program, we'll have our program, and I think we've
4 made gigantic strides in trying to achieve a working
5 relationship with those individuals and getting even the
6 names of the people and who to contact to get some of this
7 information flowing.

8 Other questions?

9 DR. LANGMUIR: More Board questions? John Cantlon?

10 DR. CANTLON: John Cantlon. In your Overhead No. 9 you
11 have a long column of individual requirements that have to be
12 met to achieve this. One of the difficulties when you have
13 that kind of a situation is a sort of falling off in the
14 coherence of the systems approach, getting it smooth running.
15 In other words, it becomes just junked. Are you doing
16 anything in particular to try to be sure that you've got a
17 smoothly running system and not get too wrapped up in the
18 details of regulations that may in fact be quite different in
19 the near term?

20 MR. TAYLOR: Again, I'm not sure quite how to answer
21 that. I know in the case of neutron absorbers, from a
22 systems standpoint, we've looked at various materials
23 internally where it's certainly of some value, but in terms
24 of getting them qualified in the stainless steel, we've just
25 said, "We can throw those out."

1 From a criticality standpoint, we've looked at bulk
2 fuel types. In other words, we've characterized HTGR
3 performance inside of an MPC, but you're not going to have
4 one MPC that's going to have ten percent of its volume filled
5 with the cats and dogs of one or two fuel baskets. So you're
6 going to have to look at blending those fuels, and you may
7 have three or four fuel types in one MPC. And that's a
8 detail that has yet to be worked out but certainly needs to
9 be addressed.

10 But from a criticality standpoint, we've involved--
11 I think Lawrence Livermore has done some work in support of
12 us recently. We've got our own criticality group, and then
13 we've worked very closely with Sandia and their criticality
14 group in trying to assure ourselves that we're taking the
15 right approach to evaluating criticality. So we're relying
16 on a lot of other groups and individuals across the DOE
17 complex to support us in these efforts.

18 Some of them, in terms of organics, you can
19 basically forget about from the standpoint you know the
20 characteristics of the fuels, what environment they were in
21 in the reactor, not necessarily their age in the reactor or
22 the irradiation time, but you know how you've stored them
23 since then. Organics are not a problem in that particular
24 case. They may be a problem from a high-level waste glass
25 treatment. And I think Savannah River has been concerned

1 with that in terms of some of the extracted materials that
2 they've tried to use over the years. And I don't know,
3 pyridine, I think, was one of them that they talked about.
4 Is that an organic that is of concern on a long-term basis
5 either from a chemical leaching standpoint, glass breakdown
6 or fire and explosion type hazard? Certainly we're not going
7 to pack coveralls inside of one of our MPC's to take up void
8 vault. That will be excluded.

9 Yes, there are a lot of things that need to be
10 considered, but not all of them necessarily apply to all of
11 our fuel types. Some of them apply more specifically to
12 certain types than others.

13 Does that answer your question?

14 DR. CANTLON: Yeah. Well, I'm really interested in how
15 strong the systems approach of keeping a good, clear, smooth
16 running process as opposed to getting mesmerized on the
17 individual regulatory things.

18 MR. TAYLOR: We have not tried to go into the nitty-
19 gritty details of specifically--although, to give you an
20 example, the statement on 4.32 under Liquids says you won't
21 put any free liquids in there that will compromise the
22 internals of a waste package. And that's all it says. We
23 have to now interpret that as to what is a free liquid; if
24 there is liquid in there but it's not free, is it a concern
25 to the internals of the waste package?

1 Other questions?

2 DR. LANGMUIR: Leon Reiter?

3 DR. REITER: Leon Reiter, staff. In the previous
4 presentation we heard that in '93 performance assessment they
5 looked at igneous rock and WIPP like, and then in '94 they
6 went to tuff like, and then we heard about the decision that
7 came out and marked the intent to put the spent fuel in the
8 Yucca Mountain repository. So apparently, before, in the
9 '93, they were looking at another solution, another type of
10 disposal, not Yucca Mountain, and the second repository.
11 What was the reason for the shift?

12 MR. TAYLOR: I think the key was that the regulation as
13 it was being interpreted at that time did not allow for spent
14 fuels to go into Yucca Mountain or into the first repository.

15 DR. REITER: So it was a legal--

16 MR. TAYLOR: It was a legal issue relative to the waste
17 type and which repository it could go into. Furthermore, the
18 total of the DOE spent fuels, as I think Brian talked about
19 earlier, we're estimating at about 11,000 metric tons, and we
20 can get 7,000 in. And so it becomes a juggling issue: do
21 you put the high-level waste from Savannah River, West Valley
22 and potentially Hanford, which is just the double shell
23 tanks, or do we put fuels in, in place of some of those and
24 put those in a second repository? And I think those are
25 issues that are still being juggled programmatically at DOE

1 headquarters level. And we're just trying to look at the
2 various issues and the permutations and combinations and how
3 they might affect us or how we might be affected by the
4 decisions they make.

5 DR. LANGMUIR: Dan Metlay, Board staff?

6 DR. METLAY: This is a question that probably isn't
7 directed to you, but maybe to Steve Gomberg, and I didn't
8 have a chance to ask it earlier. Now that we have a better
9 sense of what the spent fuel situation is with DOE, and I
10 also understand that the Department's in the process of
11 putting together a revised life cycle cost study, is there
12 anything that you now know that would suggest that the
13 allocation between the civilian side and the defense side is
14 going to be any different in significant ways than what was
15 presumed to be the case back in 1990?

16 MR. GOMBERG: We are getting ready, I think, or are very
17 close to issuing our total system life cycle cost analysis.
18 I haven't actually read it. From what I understand, it
19 includes commercial spent fuel, high-level waste and defense
20 high-level waste. I'm not sure if DOE spent fuel is in there
21 right now. The differences in allocation that could or would
22 occur I don't think are significant when you look at it from
23 the 90/10 traditional split. I have seen, just like
24 everybody else has, reports in the trade presses and whatnot
25 where copies have been shown that show there are volumetric

1 increases possible. I really don't have the knowledge to
2 comment on that specifically.

3 One point, I guess, that we didn't bring up.
4 Before 1992, we were expecting to basically reprocess all DOE
5 spent fuel, and that was in either a ceramic or a
6 borosilicate form would be sent to the repository, and
7 certainly our focus was on that. As a result of the
8 president's decision, the EH vulnerability assessments and
9 various other things, we have evolved over time to this
10 particular standpoint. We I don't think have said that we
11 are in a position to accept all DOE owned spent fuel in a
12 first repository. We have said that we are evaluating it to
13 determine if it's suitable and ultimately acceptable in a
14 first repository.

15 DR. METLAY: But just to clarify, you don't see the
16 90/10 split changing significantly?

17 MR. GOMBERG: The 90/10 split I think is based on
18 projections of inventories potentially in a first or second
19 repository, based on numerous assumptions that have to do
20 with repository- and transportation-related costs. My
21 understanding is those numbers are supposed to be reevaluated
22 periodically to redefine that split, but my understanding is
23 there would not be a significant change in that overall
24 split. There could be a relatively small change to
25 accommodate projection changes based on, say, EIA

1 information, energy information, administration information,
2 and whatnot. But not that I would, I guess, right now say
3 was significant.

4 DR. LANGMUIR: I need to bring it to a close. Several
5 things I need to say before we depart for lunch. First of
6 all, they are prepared for us here in the hotel for lunch.
7 They say they can handle all of us. I'm wondering with the
8 other meeting going on, but that's what they say. They
9 suggest we get the buffet, because it's more efficient.
10 We're do back here at 12:30. There are two hot entrees,
11 soup, salad for \$5.95.

12 Final point, everybody who's made a presentation
13 this morning, as well as those who make presentations this
14 afternoon, need to be here at 4:00 to participate in the
15 round table discussions, a very important part of our day.

16 So with that, I'll adjourn us for the morning.
17 Reconvene at 12:30.

18 (Whereupon, a luncheon break was taken.)

19

20

21

22

23

24

25

1

2

3

A F T E R N O O N S E S S I O N

4

DR. LANGMUIR: We'll begin the afternoon session.

5 Before we do, I have an announcement. "Please announce"--

6 this is for me--"Please announce regarding the tour"--this

7 has to do with our tour tomorrow--"everyone who asked to be

8 on the tour and pursued their clearance information by the

9 May 19th deadline is on the tour. They were faxed an

10 itinerary on Friday, including those on the waiting list."

11 So apparently everybody who wanted to go is going.

12 Our first presentation of the afternoon is given by

13 Don Connors, and his topic is DOE-owned spent nuclear fuel:

14 naval propulsion program component--path forward for ultimate

15 disposition.

16 MR. CONNORS: Hi, I'm Don Connors. I'm representing the

17 Naval Nuclear Propulsion Program today. And I'd like to

18 start off by identifying a little bit what that program

19 consists of. First of all, it's a joint DOE/Navy enterprise.

20 It's an organization that was essentially set up years ago,

21 was made legitimate by an executive order of President Reagan

22 in about 1980, and has been codified into public law now.

23 It's responsible for all of the Naval Nuclear Propulsion

24 Program matters, and I've listed what those are:

25 There are over 100 nuclear-powered warships right

1 now, and that's a scale down. That's about what it is now.
2 Because in 1987, there were 150 nuclear-powered warships. By
3 the year 2005, there will be about 80 nuclear-powered
4 warships. So we're on a very steep decline, a slope, of
5 reduction as evidenced by the end of the Cold War as required
6 because of the end of the Cold War.

7 Those 100 nuclear-powered warships have about 120
8 shipboard/land-based nuclear reactors.

9 There are two moored training ships. They're ex-
10 ballistic missile launching submarines where the missile
11 compartment has been cut out of them, the ship welded back
12 together, made into training platforms. They're located at
13 Charleston, South Carolina.

14 There are three land-based prototypes operating
15 now. All three of them are at the Kesselring Site facility
16 near Schenectady, New York. There are no prototypes
17 operating now at the Idaho National Engineering Laboratory.
18 None of the naval reactors' prototypes are operating.

19 It's responsible for nuclear safety, radiological
20 matters at naval shipyards and basis, two R and D
21 laboratories, and the Expanded Core Facility at the Idaho
22 National Engineering Laboratory.

23 To date, we've had about 4,400 reactor years of
24 operation steamed over 100 million miles, and had about 300
25 refuelings and defuelings. We've never had a reactor

1 accident or any significant release of radioactivity.

2 Now, this is a rehash of a couple of other slides
3 you've seen, maybe in a little different form, but brings out
4 the Navy component. The Navy right now has about 10 MTHM of
5 spent nuclear fuel located at the Idaho National Engineering
6 Laboratory. Over the next 40 years, we expect to generate
7 another 55 MTHM, so that would bring us up to a total of 65.
8 This is a small amount in comparison to the DOE fuel, which
9 you've heard talked about, and it's a very small amount with
10 respect to the civilian fuel. But those are the numbers that
11 are listed on that chart.

12 Navy fuel is classified. And I can only ask you to
13 imagine what it must look like by throwing up a few of the
14 characteristics of the fuel. It's metallic, solid, non-
15 flammable, non-explosive, highly corrosion resistant fuel.
16 It withstands combat shock forces, which are important in a
17 warship, obviously, but they have to withstand depth bomb
18 attacks and so on. So it's pretty shock resistant. I put
19 the emphasis on the "well in excess of 50 g" up there.

20 It is capable of rapidly changing power levels, and
21 it needs to be in order to accelerate a ship or slow down a
22 ship at an instant's notice. So the fuel system is capable
23 of rapidly accelerating power levels. That fuel system
24 totally contains the fission products that are inside. The
25 only fission products that we ever find in the primary

1 coolant are tramp radiation of the tramp material, the
2 uranium material, that might be in the clad. That's the only
3 fission product that we find in the coolant on a naval
4 reactor. And we have a strong incentive to do that. The
5 Navy people live on the ship right in close proximity to the
6 fuel.

7 It possesses extremely long operating lives, right
8 now over 20 years. Didn't always used to be that way. The
9 Nautilus had a two-year lifetime. With examinations of fuel
10 at the Expanded Core Facility, the development work that's
11 been going on, we've been able to extend that lifetime now up
12 to over 20 years. And that integrity at high temperature
13 clearly relates to an extended integrity at low temperature,
14 the kind of temperatures you'd experience in a storage
15 situation.

16 The integrity of the fuel we think is evidenced to
17 some extent by the fact that we lost two nuclear-powered
18 submarines in the '60's, the Thresher in 1963, the Scorpion
19 in 1968. Both are lost and on the bottom of the ocean in
20 deep water, one in 8,400 feet, the other in over 10,000 feet.
21 We have sent vehicles down to examine the environment around
22 those submarines, and there's no evidence of any loss of
23 integrity of the fuel. And we think that's an evidence to
24 the high integrity of the fuel system that we've designed.

25 The fuel cycle for Navy fuel, Navy spent fuel.

1 It's removed from the ship and up to now has been sent to the
2 Idaho National Engineering Laboratory for examination at the
3 Expanded Core Facility. And after examination, it gets
4 transferred the Chemical Processing Plant to DOE for ultimate
5 disposal. It was being reprocessed up till 1992, but
6 reprocessing of Navy fuel stopped in 1992 just like the other
7 fuels.

8 The shipments to INEL are made in containers like
9 this one. We have a couple of different container designs.
10 This is the M-140 container, which is about 16 feet high,
11 about 10 feet in diameter. It's basically a solid right
12 circular cylinder. The wall thickness is 14 inches of
13 stainless steel, and there's about 17 inches of stainless
14 steel up on the top, including the steel in the protective
15 dome, which acts as a shock absorber in the event of a
16 problem. The only reason I show that is because it's one of
17 the options for the path forward in taking care of Navy spent
18 fuel.

19 The container itself, the M-140, is designed for
20 complete containment during normal conditions. It's
21 certified by DOE to 10 CFR 71. The design was submitted to
22 the NRC for review, a Certificate of Compliance issued by the
23 NRC. And I would point out in addition to that, no active
24 cooling system is needed on the M-140 container.

25 Historically, through 1995, we've sent shipments,

1 about 600 of them, to the Idaho National Engineering
2 Laboratory. We had sent all but 27 shipments prior to 1993.
3 The court order in 1993 stopped further shipments, but the
4 State of Idaho and the court agreed that additional shipments
5 were required and allowed 27 more shipments during the
6 pendency of the court injunction, which as you know is still
7 in effect. All of those shipments were by mail--by rail. We
8 don't ship by mail or by air. The containers are dry.
9 They've all been to Idaho, we've never had an accident, and
10 the total radiation exposure to the entire population along
11 all the transportation routes has been .1 of a rem from those
12 shipments.

13 Now, what's the path forward for Navy spent fuel?
14 The military characteristics of the fuel likely will provide
15 suitable for direct disposal without any processing, without
16 any canisterization or additional work on the fuel. We think
17 it's acceptable the way it is. It's likely to meet the Waste
18 Acceptance Criteria. We don't know what the Waste Acceptance
19 Criteria are, and therefore we have to say it's likely to
20 meet the Waste Acceptance Criteria.

21 We are participating with DOE right now in the path
22 forward. First of all, when the Notice of Intent came out on
23 the Multi-Purpose Canister, the Navy asked the DOE to become
24 a cooperating agency, and DOE agreed to let the Navy become a
25 cooperating agency in the development of the Environmental

1 Impact Statement on the Multi-Purpose Canister. We are
2 actively engaged in working the Navy material into the EIS
3 for the MPC. Navy fuel will be included in the license
4 application to the NRC. I understand the license application
5 is probably targeted sometime in mid-1996. At this point,
6 it's not clear when we will include ourselves. We may
7 include ourselves as an amendment to the license. We have
8 one ground rule: not to delay the licensing of the MPC for
9 civilian fuel with the addition of the Navy fuel. So
10 probably follow it by some number of months. The Navy fuel
11 will be included in the repository EIS. There is a Notice of
12 Intent that's in preparation. When that Notice of Intent
13 comes out, you should be able to see Navy fuel is going to be
14 included in the repository EIS. WE've done the leach testing
15 and so on on spent Navy fuel. We have confirmed that it is
16 not RCRA waste. We have EPA agreement on that confirmation.
17 So Navy fuel is not RCRA.

18 Now, what does it look like for Navy fuel in an
19 MPC? This is a sketch, without revealing any of the
20 classified information on the Navy fuel. But the MPC that
21 I've selected here is the 21 PWR module MPC, and that's
22 supposed to be a 17 x 17 Westinghouse commercial fuel module
23 that's sitting there. And 21 of those would fit into the
24 ports in the MPC. We expect to put the Navy fuel into a
25 container. Maybe the insert arrangement might change, maybe

1 it will not change, but the Navy fuel would fit right into
2 the ports that the commercial fuel will fit in.

3 The alternates that are being considered in the
4 Multi-Purpose Canister EIS--and now you'll see why the M-140
5 was discussed earlier. The first and the preferred alternate
6 that is being developed for the MPC EIS is the 125-ton
7 canister design. There is an alternate to that, which is the
8 75-ton canister design. There's another alternate that
9 basically says, "What if you don't pick the MPC, but what if
10 you instead use existing technology?" Well, the existing
11 technology for Navy fuel is the M-140 shipping container, and
12 we would therefore pick the fuel up out of the water pools at
13 Idaho, put it back in the M-140 that we took it out of when
14 it come in from the shipyard, and send it to the repository
15 and then unload it into whatever unit is designed and
16 developed for disposal in the repository. That would be
17 called the No Action alternative, and it is using existing
18 technology. There's another alternate that is a high-
19 capacity transportation cask. To do that, we'd realign the
20 internals in the M-140 and set it up so that it could handle
21 more fuel and get a higher capacity transport with a
22 modification to the M-140. There are two other alternates
23 which are exactly the ones that are being considered for the
24 commercial fuel, and that's the transportable storage cask
25 using the NAC-STC system or it's a dual-purpose canister

1 using the NUHOMS MP-187 system. So those are the
2 alternatives that are being considered in the EIS on the
3 Multi-Purpose Canister.

4 I have just one more slide, which shows the
5 comparison of an MPC loaded with 21 PWR modules, commercial
6 fuel modules, and an MPC loaded with typical Navy modules.
7 If we start at the top, we can see that the total metal is
8 about the same, 14 MTTM for the commercial PWR assemblies, 12
9 MTTM for the Navy modules. If you'll look and say how much
10 of heavy metal is there, there's 10 MTHM in the low
11 enrichment commercial fuel. There's .4 of MTHM in the highly
12 enriched Navy fuel. So with an enrichment of 3.75 percent in
13 the commercial 21 module PWR, you wind up with 364 kg of U-
14 235. With an enrichment--our enrichment ranges from 93
15 percent to 98 percent; I picked 97 for this chart--we would
16 wind up in an MPC loaded with Navy modules with 360 kg of U-
17 235. So we have crudely the same criticality problem that
18 the civilian unit will have.

19 Now, that's what I had prepared to identify. If
20 you have any questions, I'd be happy to try and answer them.

21 DR. LANGMUIR: Langmuir, Board. Clarification on your
22 last overhead, Don, is what does BOL stand for, U-235 BOL
23 enrichment?

24 MR. CONNORS: That's Beginning of Life. I took the
25 initial loading of a PWR assembly, 3.75 percent enrichment,

1 and wind up with 364 kg. So that's what BOL means, Beginning
2 of Life, before any depletion of the fissionable material.

3 DR. LANGMUIR: Thank you.

4 MR. CONNORS: Okay.

5 DR. LANGMUIR: I have a generic question here, sort of.
6 I don't know, maybe it's not generic. But anyway, I noticed
7 that this fuel is mysteriously secret. I wonder how one gets
8 through a licensing with public discussions of consequences
9 of disposal, license for the MPC Environmental Impact
10 Statement, without divulging what it's made of. I wonder how
11 you'd defend its performance in a repository without
12 divulging what it's made of.

13 MR. CONNORS: Well, first of all, when we have to reveal
14 classified information, we get the people we reveal it to
15 cleared, set up the necessary controls, and then provide
16 whatever information is necessary. So that's the way we do
17 it, and we've done that with licensing. And one of the
18 reasons I pointed out the fact we have licensed the M-140
19 container is this is not unusual for us to do. We have had a
20 couple of meetings basically recently with the MPC people on
21 a classified basis, and we just reveal the information that
22 needs to be revealed.

23 DR. LANGMUIR: A related question. If it is in fact--
24 and I'm pretending I know what it is, I've been given a rumor
25 here from someone near me--if it's metallic uranium, I'm

1 assuming if it's in a repository and there's a breached waste
2 package, you're going to have oxidation, and possibly
3 crepitation and spalling, a behavior quite different than UO2
4 commercial fuel if it's in the same kind of waste package and
5 it's breached. And I would assume whatever happens to it is
6 going to be different behavior perhaps.

7 MR. CONNORS: It's different than commercial fuel, let
8 me say that.

9 DR. LANGMUIR: Yes, but it's performance will be
10 different.

11 MR. CONNORS: It's zircaloy 4 clad material, we have
12 identified that much.

13 DR. LANGMUIR: Okay.

14 MR. CONNORS: It is highly corrosion resistant.

15 DR. LANGMUIR: The fuel itself or the cladding?

16 MR. CONNORS: The fuel itself is highly corrosion
17 resistant.

18 DR. LANGMUIR: Okay.

19 MR. CONNORS: In addition to the cladding.

20 DR. LANGMUIR: All right. Remains a mystery as to what
21 it is.

22 MR. CONNORS: Okay. And I've been successful.

23 DR. LANGMUIR: Questions from the Board? Bill Barnard,
24 Board staff?

25 DR. BARNARD: Bill Barnard, Board staff. As I

1 understand, most of the reactor fuel is now in pool storage?

2 MR. CONNORS: The reactor fuel, the 10 MTHM that's in
3 INEL, is in pool storage either at ECF or at ICPP. I think
4 there's 3 MTHM roughly in pool storage at ECF. The other 7
5 MTHM is in storage at ICPP in pool storage, mostly in CPP-
6 666.

7 DR. BARNARD: Could this fuel be put in a dry storage?
8 There shouldn't be any reason why it shouldn't.

9 MR. CONNORS: It could be put in a dry storage, and we
10 included the option of dry storage in the programmatic
11 Environmental Impact Statement that was just issued. Could
12 be put in dry storage. We have enough room right now in
13 water pool storage. We know how to handle water pool
14 storage. When we need dry storage, we can take the stuff.

15 Now, our calculations at this point, I mentioned
16 that we ship the stuff dry. We don't need water in the
17 container for cooling when we're shipping it. These are not
18 high-decay heat load units. We don't need water for cooling
19 when we ship it. We've made the calculations, the MPC
20 calculations say 5 years before you put it in an MPC, 10
21 years before you put it in a transport container, 20 years
22 before you put it in the repository. We're making our
23 calculations at five years and not finding any difficulty in
24 loading. We've done the structural work, we've done the
25 decay heat work, we've done the criticality calculations. We

1 don't see any obvious impediments. Clearly we've got a lot
2 more work to do before it actually becomes reality.

3 DR. LANGMUIR: Carl Di Bella, question?

4 DR. DI BELLA: I take it burnup is a classified number
5 for naval fuel?

6 MR. CONNORS: Yes.

7 DR. DI BELLA: Okay.

8 MR. CONNORS: Yes.

9 DR. DI BELLA: This morning, Henry Loo spoke to us about
10 a recent performance assessment that he had done with INEL
11 where he didn't do it for naval fuel but did it for--

12 MR. CONNORS: That's right.

13 DR. DI BELLA: --what he called a surrogate, and I think
14 it was a Shippingport fuel.

15 MR. CONNORS: He used a Shippingport module, yes.

16 DR. DI BELLA: Okay. And he concluded that it passed
17 the performance tests that are in 40 CFR 191. But he also
18 said the waste form would not meet the requirements of 10 CFR
19 60 as far as the release rate is concerned, and actually, I
20 read that the waste package, according to the models that
21 they used, wouldn't meet the 1,000-year substantially
22 complete container either. Now, what sort of modeling have
23 you done for your particular fuel, not a surrogate, I guess,
24 that indicates that indeed it would meet this? Okay, it's
25 more robust, I grant that, but what actual sort of models

1 have you used?

2 MR. CONNORS: The naval fuel that I'm talking about is
3 different from the Shippingport fuel that Henry Loo analyzed.
4 That's first and foremost. It's a different fuel system.

5 DR. DI BELLA: Right.

6 MR. CONNORS: The naval fuel that I'm talking about, we
7 have test results for however long test results are good for.
8 You have to extrapolate them out to lifetimes, but
9 extrapolating those test results would indicate that we have
10 many, many, many years, and I'm talking like a million years,
11 before we would see any significant degradation of the fuel.
12 Now, it has to be extrapolation because clearly we don't
13 have data for real long lifetimes. But extrapolating the
14 materials.

15 The other thing that Henry Loo knows is that our
16 intent is to pin control rods in our fuel assemblies. To pin
17 control rods so that the control rod becomes an integral part
18 of the fuel assembly. I guess that's all I should say.

19 DR. DI BELLA: Did your RCRA tests include looking at
20 the fuel rod leach results?

21 MR. CONNORS: Yes. The corrosion tests and so on
22 include the material that we would expect to use for the
23 control elements that would be put in the fuel modules.

24 DR. DI BELLA: I was asking about the RCRA tests, the
25 leaching tests that you used to determine whether or not--

1 MR. CONNORS: I'm not sure about the answer to that
2 question, whether the RCRA tests included the pin control
3 element. I can find out and get back to you, Carl.

4 DR. DI BELLA: I've heard people say in the Yucca
5 Mountain Project--and I won't identify them--that metallic
6 fuel probably wouldn't be acceptable in a repository. This
7 applies to the Hanford fuel also. And yet you feel quite
8 confident about it, obviously, and I think INEL feels fairly
9 confident about it, too. What is it that you are going on to
10 have this kind of confidence?

11 MR. CONNORS: I guess the only thing I can refer to on
12 that are the design characteristics that I identified--its
13 battle shock resistance, its high corrosion resistance. It's
14 really that that I'm relating to. I'm not sticking to any
15 particular word like metallic. I'm looking at the overall
16 system that has been designed.

17 DR. LANGMUIR: I think we're just about on time if we
18 can go on. Thank you, Don.

19 MR. CONNORS: Okay.

20 DR. LANGMUIR: Next presentation is by Jim Laidler. His
21 topic is DOE-owned spent nuclear fuel: stabilization
22 technology and development activities.

23 MR. LAIDLER: Thank you. Good afternoon, I'm Jim
24 Laidler. I'm the director of the Chemical Technology
25 Division at Argonne National Laboratory in Chicago. And this

1 will be a little bit of a change of pace for this afternoon.
2 I'm going to talk about a technology that we're developing
3 for future application, maybe not a long-term but hopefully
4 mid-term, that promises some very significant advantages, and
5 I'd like to explain those to you.

6 It's a non-aqueous process, and if you're thinking
7 of this in terms of a conventional Purex reprocessing method
8 --and incidentally, this is not reprocessing--this is like
9 night and day from the Purex method. It does not use any
10 aqueous solvents in the process. We actually use an
11 electrorefining technique to separate uranium metal from the
12 fission products and the transuranic elements. The uranium
13 metal goes a separate direction in this process; the fission
14 products and the transuranics show up in the high-level waste
15 forms. And it's applicable to a very broad range of fuel
16 types: metals, oxides, cermets, graphite fuel even, hydride
17 fuels.

18 And the way that we treat those different fuels is
19 dependent upon the nature of the fuel itself. If it's a
20 metallic fuel, because the feed to the electrorefining
21 process is metallic, then it goes directly to the
22 electrorefiner. If it's an oxide fuel, then we go first
23 through an oxide reduction step, where we reduce the oxide
24 with lithium metal and recover the reduced actinides in
25 metallic form plus the fission products. They go to the

1 electrorefiner then, then we do the separation. If it's a
2 different type fuel, then it would go through some for now
3 unspecified treatment that would produce either an oxide or a
4 metal form which would then go through these other two steps.

5 The process of separating the actinides and the
6 fission products in the electrorefining step results in the
7 fission products plus the transuranics going with the
8 electrolyte sol in the molten salt electrorefining process to
9 a fission product extraction step where we absorb the fission
10 products and the transuranic elements in a zeolite, and then
11 that becomes our high-level waste form. The process
12 separates the fuel material from the cladding, and we
13 actually use the cladding material itself as the matrix to
14 contain the metallic fission products, and that becomes a
15 second high-level waste process.

16 The uranium that's the product of the
17 electrorefining step is pure uranium. It's free of fission
18 products--and I mean really free of fission products--and it
19 can go either to interim storage--if it's highly enriched
20 uranium in the spent fuel that we're dealing with, the
21 process then involves an additional step for blending down
22 with depleted uranium to produce a uranium product that's
23 less than 20 percent enriched in the U-235 isotope.

24 Schematically, the electrorefining process looks
25 like this: We use an electrolyte salt which is a eutectic

1 mixture of lithium and potassium chlorides operated at a
2 temperature of 500 degrees C. We place the spent fuel in a
3 perforated metal basket which we make anodic, and we
4 electrolytically dissolve the fuel material away from the
5 cladding material so that the cladding is left at the bottom
6 of the anode basket together with those fission product
7 elements which will not form stable chlorides. So they stay
8 together with the cladding at the bottom of the basket. The
9 alkaline metal fission products, cesium and strontium and so
10 forth, and the alkaline earths, will stay in the salt as
11 stable chlorides, together with some of the rare earth
12 fission products and the transuranic elements. So we form
13 plutonium chloride, americium chloride, and so forth. And we
14 deposit pure uranium on a steel cathode and recover that
15 uranium by a constant process of scraping the uranium
16 dendrites from the surface of the cathode. Included in the
17 noble metal fission products are the technetium-99. And in
18 addition, we find that the carbon-14 will stay at the bottom
19 of the basket as well.

20 The overall process is very simple. And this is
21 the entire flow sheet for the electrometallurgical treatment.
22 Depending on the fuel type that we're dealing with, we'll
23 either go through the oxide reduction step or directly into
24 the electrorefiner if it's metallic fuel. The separated
25 uranium is a dendritic deposit which has some electrolyte sol

1 adhering to it. So we send it to a vacuum distillation
2 furnace where we melt the uranium, boil off the electrolyte
3 salt, and cast the uranium into a large ingot which is then
4 placed in interim storage. Now, this can be either recycled
5 or, if it has no value, it can be sent to a low-level waste
6 disposal site.

7 The salt in the electrorefiner, as you process
8 batch after batch of spent fuel, will increase in
9 concentration of fission products so the decay heat load in
10 the electrorefiner increases to a certain point at which you
11 have to then remove the salt to extract the fission products.
12 And the salt together with the fission products and the
13 transuranic elements are then sent to a series of zeolite
14 columns. We pass the salt through the zeolite columns, again
15 at 500 degrees C. The effluent salt from the zeolite columns
16 is free of fission products and transuranics and can be
17 recycled to the electrorefiner. The first, most heavily
18 loaded zeolite column is extracted once we reach our target
19 loading of fission product elements, sent to a hot pressing
20 operation where we first blend with a glass frit, a
21 borosilicate glass frit, hot press and form a solid monolith
22 of our ceramic waste form. And that becomes our ceramic or
23 mineral waste form. So that's one high-level waste form.

24 The cladding, together with the anode basket
25 screens and any filters that we use in pumping this salt to

1 the zeolite column then are sent to a melting furnace where
2 we melt under a salt flux. The salt flux removes any
3 residual transuranics that may have been in the cladding
4 holes, and we recycle that salt with the transuranics back to
5 the electrorefiner. This metal waste then becomes our second
6 high-level waste form.

7 Now, we see a number of incentives for treating of
8 spent fuel. One of the primary ones is because we have a
9 very large number of distinct fuel types, if we had to
10 qualify each one of those types for disposal in a repository,
11 then it would be a fairly expensive proposition. So what we
12 are doing is really homogenizing a whole collection of
13 different fuel types, because the process really doesn't care
14 what the composition of the fuel is, to a single set of
15 common waste forms. Regardless of the fuel that's sent
16 through the process, the waste forms are the same. The only
17 thing that varies is the composition of the metal waste form,
18 and that's dictated by the composition of the cladding
19 material.

20 Second incentive, of course, is to stabilize the
21 fuel. If we have unstable materials--and we do--in the
22 inventory, then this is a way to get it all into stable waste
23 forms. And incidentally, because we're dealing with a lot of
24 fuel that is highly enriched to alleviate any criticality
25 concerns, you blend down the highly enriched uranium as part

1 of this process, and you separate the uranium out. It
2 doesn't go to the repository.

3 And then the third incentive is that it does
4 resolve, because it's a non-aqueous system, we don't have a
5 lot of solvent recovery operations and any secondary waste,
6 the volume of high-level waste that comes out of the process
7 is very small.

8 So we have the three product streams of the
9 electrometallurgical treatment process:

10 Pure uranium, which we're saying for now can go to
11 interim storage and then the country can decide what to do
12 with that material. If we leave it at 19 percent enriched,
13 then it may have some market value. If it's very low
14 enriched natural uranium or depleted, then it probably has
15 little market value and could be sent to disposal as low-
16 level waste.

17 The second waste stream is the noble metal fission
18 products, technetium, and the transition metals, plus the
19 cladding material, either zirconium or stainless steel, and
20 that's our metal waste form. The third is the ceramic waste
21 form with the transuranics plus the active metal fission
22 products, cesium and strontium. And those are our two high-
23 level waste forms.

24 Now, the quantities of waste that we're projecting
25 --and recognize that this is calculated on the basis of mass

1 balance flow sheets and substantiated by laboratory scale
2 experiments. We have not gone to production scale yet. But
3 in the case of oxide fuel treatment, of the per MTHM treated,
4 the uranium product volume, of course, is the same, 50
5 liters. The ceramic waste form for oxide fuel treatment is
6 about 150 liters per ton. For the metal fuel, it's about 15.
7 The metal waste form is 55 liters in the case of the oxide
8 fuel and 20 liters for the case of metal fuel treatment, and
9 we produce no secondary waste. These are very small waste
10 volumes. It's about 15 to 20 percent of the--well, the
11 packaged waste volume for this process is about 15 to 20
12 percent of the packaged waste volume of spent fuel if you
13 dispose indirectly.

14 Now, where do we stand? We've demonstrated the
15 process at what we call engineering scale, about 10 kg per
16 day processing rate, with unirradiated fuel to which we have
17 added non-radioactive fission product elements, the rare
18 earths and the cesium and strontium and so forth. We are now
19 in the process of scaling up the process equipment to
20 demonstrate its performance at higher throughput rates that
21 would be required for application to the treatment of the DOE
22 spent fuel. The electrorefiner being scaled up to a module
23 size of 200 kg per day, and the oxide reduction process to
24 200 kg per day.

25 Our waste form production processes are also being

1 demonstrated at reasonably large scale, 20 to 50 percent of
2 what we would see as production scale. And production scale
3 is on the order of a ton per day. Waste form performance
4 testing is in progress, and we've been very gratified with
5 the results with these two waste forms, the ceramic and the
6 metal waste forms. Their performance in terms of leach rate
7 is equal to or better than borosilicate glass standard that's
8 developed by Savannah River. The metal waste form is
9 particularly good. It's about two orders of magnitude
10 better.

11 In looking at applications of the process, we've
12 tried to put our emphasis on what we see as the major
13 problems in the DOE inventory. The metallic fuels, of
14 course, the N-Reactor fuel, which is severely degrading, the
15 single-pass reactor fuel from the production reactors, the
16 early production reactors, at Hanford, and of course the
17 FERMI-1 fuel that's here, some of that fuel is sodium bonded.
18 Of course our EBR-2 fuel that you've heard about today is
19 also a sodium bonded fuel, and there's about 34 tons of that.

20 Oxide fuels that will eventually reside in entirety
21 here at the INEL will total something around 300 tons. I'm
22 not sure if that's absolutely precise. But there are more
23 than 50 distinct fuel types. You've heard a number this
24 morning, maybe 90 or 92 different fuel types of the oxides.

25 Finally, we are also looking at a problem with the

1 molten salt reactor experiment fuels at Oak Ridge National
2 Laboratory. It's a fairly small quantity of material, only
3 about eight cubic meters, 8,000 liters, but it's currently
4 very unstable. They've lost chemistry control on that fuel
5 and uranium hexafluoride is being formed and migrating
6 throughout the facility.

7 Now, as far as what we're doing where, the
8 development of the process technology is being carried out
9 where I work in Illinois. The process demonstrations are to
10 be done here at the Argonne West facility at the INEL in two
11 major hot cell facilities, a Fuel Conditioning Facility, or
12 FCF, and the HFEF, the Hot Fuel Examination Facility, a major
13 modern hot cell facility.

14 We are beginning with the treatment of EBR-2 fuel
15 as part of the process of shutting down that reactor, and we
16 will be applying the process initially to the driver fuel.
17 There's about a ton of driver fuel, a little over a ton
18 maybe, and the balance is blankets. This demonstration we
19 feel will be applicable to the FERMI-1 N-Reactor and the
20 single-pass reactor fuels, all of which are metallic.

21 It's also applicable to any head-end treatments
22 which produce a metallic product. This treatment will be
23 done in the Fuel Conditioning Facility. The operational
24 readiness review has been completed and we're just waiting
25 the approval of the Secretary of Energy to begin hot

1 operations. We have done some operations with depleted
2 uranium to check out the equipment. We expect that approval
3 to begin later this month.

4 Oxide fuel is important at the INEL because this
5 site will have the major complement of that material in the
6 DOE inventory. Our plan is to install an oxide reduction
7 system in the Hot Fuel Examination Facility at this site in
8 Fiscal 1996. And we'll start initially at a rate of 20 kg
9 per day, and then by 1998 we'll have a capacity of 200 kg per
10 day. And we could use this system for treatment of the TMI-2
11 core rubble. There's about, I think, 82 tons of that fuel,
12 and so we could at this rate process it in a couple of years.

13 This is our overall schedule for the development
14 program. The EBR-2 spent fuel and blanket treatment period
15 will extend through about the end of 1998. These are fiscal
16 years. In order to do the treatment of the very large
17 quantity of blanket materials, we have to install a high
18 throughput electrorefiner, the 200 kg per day module, and
19 that equipment will be installed by the end of 1997. We've
20 already finished some cold demonstrations with unirradiated
21 and reactor fuel in Illinois, and we plan to do some
22 experiments with irradiated N-Reactor fuel in our smaller
23 electrorefiner in the Fuel Conditioning Facility at the end
24 of next year and then progress to the treatment at the higher
25 throughput rate at the end of 1997 with N-Reactor hot fuel.

1 Process development for the single-pass reactor
2 fuel will be completed by 1996. We'll be completing the
3 development of the process for treating the MSRE fuel and
4 flush salts by mid-'97, and we'll be ready to start our TMI-2
5 irradiated fuel or rubble demonstration experiments at the
6 start of 1997.

7 And the rest of this is really the waste treatment
8 and waste form production. We really don't have any waste
9 volumes to speak of until we've gone through about two and a
10 half years of treatment of the EBR-2 fuel.

11 The real advantage of this system is that because
12 it's a batch process, it's scalable to fit specific site
13 requirements. If a throughput requirement is small at a
14 particular site, then we have a small module or a small
15 number of modules. And if it's large, for example in the
16 case of the Hanford N-Reactor fuel, then we'd have say five
17 of the electrorefiner modules rather than one. Equipment is
18 very compact. A five-module electrorefiner takes up about
19 half the space of this open area in the center here of the
20 table. Facility requirements are very small, and the process
21 chemistry is very well controlled and we understand it pretty
22 well.

23 It has the advantage of being a single process
24 which will treat a very diverse collection of spent fuel
25 types. The equipment commonality and commonality of

1 procedures is a significant advantage. It offers a
2 substantial reduction in the volume of high-level waste, as I
3 mentioned, 15 to 20 percent of the package spent fuel volume.
4 And because this fuel is fairly old, that means you can cram
5 a lot more waste into a given container, repository
6 container, volume. And cost of doing this treatment is very
7 low. This is not just our estimates but estimates that have
8 been done by General Electric Company and by Burns & Roe, and
9 the G.E., Burns & Roe estimate was actually under \$200 per
10 kg. Our guess at it is around \$350. But that compares, I
11 think, very favorably. If you know what the Purex costs are
12 in Europe and Japan, they're probably ten times that.

13 So we think we've got a process which has some real
14 potential for application in the future. We're pretty close
15 to being able to demonstrate it on a fairly large scale.
16 Thanks.

17 DR. LANGMUIR: Thank you, Jim. Questions from the
18 Board? John Cantlon?

19 DR. CANTLON: Cantlon, Board. Do you have any
20 international collaboration on this process yet?

21 MR. LAIDLER: We did.

22 DR. CANTLON: Japanese?

23 MR. LAIDLER: Yes.

24 DR. CANTLON: Yeah.

25 MR. LAIDLER: And that contract was terminated at the

1 request of the Department of Energy.

2 DR. LANGMUIR: I'm going to show my ignorance--Langmuir,
3 Board--of nuclear chemistry here, but I'll ask a question
4 anyway and you can give a me little tutorial. You're
5 separating uranium from some long-lived actinides or TRU
6 products like neptunium, plutonium, americium, which are
7 among the big concerns late in repository life.

8 MR. LAIDLER: Right.

9 DR. LANGMUIR: They're going along with fission products
10 which are hot at the beginning of repository life. You have
11 reduced the volumes, but haven't you created a product which
12 is just as difficult to deal with in terms of repository
13 long-term performance as the spent fuel?

14 MR. LAIDLER: When we put the fission products and
15 transuranics into the zeolite, it's an ion exchange process,
16 and we're counting on a charge balancing reaction to bind
17 those elements in the structure of the zeolite. It turns out
18 that the--what we call the extraction coefficient or the
19 strength of binding increases with a valence of the material
20 that's being absorbed. So as we put in cesium with a +1
21 charge, it's less strongly bound than strontium with +2 or
22 the rare earth fission products at +3 and the transuranics at
23 +3. So what we are finding is that when the transuranics go
24 into this zeolite, they stay there. So it's--we expect
25 anyway--to be a very, very stable waste form, and the leach

1 tests that we've done on that material, we just can't get the
2 transuranics or uranium to come out of it.

3 DR. LANGMUIR: Might they be changing form into oxides
4 in your zeolite? I wonder also about the zeolite being
5 affected by radiolysis. If you've got actinides inside it
6 blasting away at the silicate structure, I wonder how stable
7 that is through time.

8 MR. LAIDLER: The concern is with not so much the
9 radiolysis. We've done gamma radiation experiments up to
10 about the equivalent of 10,000 years exposure, and we see no
11 degradation of the zeolite structure. But the concern is
12 with the buildup of helium in that system. Now, if you know
13 a little bit about the behavior of ceramic materials, you
14 know that they can tolerate a lot more gas buildup or helium
15 buildup than you can, for example, in a glass. So we're
16 trying now to come up with an accelerated test where we
17 generate a lot of helium in the waste form so that we can
18 look at those kind of long-term effects.

19 DR. LANGMUIR: One last question related to that. One
20 of the big concerns at Yucca Mountain is that if you get a
21 high thermal loading scenario at the mountain, the natural
22 zeolites will be unstable about 100, 200 degrees or so. Some
23 of them will be at least; they'll alter. I wonder what the
24 temperatures of this might be, this material itself with the
25 actinides in it, the TRU's in it, whether it's going to get

1 hot and whether the zeolite as such is a stable phase.

2 MR. LAIDLER: We try to limit our centerline temperature
3 of the waste form, the ceramic waste form, to 350 degrees C.
4 And we have done some long-term thermal aging experiments
5 with that material. Now admittedly, again, as Don pointed
6 out, we are not able in a reasonable way to do a simulation
7 of very long-term effects. And so that's a shortcoming in
8 all of our waste qualification efforts, is we really don't
9 know what's going to happen, what the forward reaction rates
10 are going to be, but we're trying to come up with tests that
11 are as severe as possible and yet somewhat representative of
12 the actual conditions in the repository environment.

13 DR. LANGMUIR: Thank you, Jim.

14 Any more Board questions? John Cantlon?

15 DR. CANTLON: Yes, this is Cantlon, Board. I've
16 forgotten the process scale. How does this compare with the
17 Purex process? This is a batch process and you were giving
18 us some numbers. How does that compare, say, with the scale
19 of a typical thing that the French are doing or the Japanese
20 are talking about?

21 MR. LAIDLER: Well, the French plant and the proposed
22 Japanese plant are 800 tons per year.

23 DR. CANTLON: Yeah.

24 MR. LAIDLER: The version of this system that we're
25 proposing be installed, for example, at Hanford is something

1 on the order of 250 tons per year. But recognize that it's a
2 balance. What you're trading off is throughput capacity
3 against cost of the facility.

4 DR. CANTLON: Sure.

5 MR. LAIDLER: And if we want to process that material in
6 two years, then you just replicate these modules of the
7 electrorefiner. Right now it takes five modules to do 250
8 tons a year.

9 DR. LANGMUIR: Thank you, Jim.

10 We're right on schedule. I'd like to continue with
11 presentation by David Abbott and Norman Rohrig. The title is
12 "Commercial Spent Fuel Storage Demonstration Activities at
13 INEL."

14 MR. ABBOTT: Well, as Mr. Langmuir said, I'm Dave
15 Abbott, not Kevin Streeper. Kevin's better looking, but I'm
16 braver. And I'll be talking about some activities we've been
17 doing here at the INEL to demonstrate the performance of
18 commercial spent nuclear fuel and storage conditions.

19 The work that we've been doing here has been
20 entirely supported by DOE's Office of Civilian Radioactive
21 Waste Management, RW, and there have really been two support
22 organizations involved, us at INEL and then also PNL up at
23 Hanford. PNL does a lot of the technical modeling and test
24 planning and that sort of thing, and then we've been
25 primarily involved in the testing and demonstration

1 activities and the actual operational activities.

2 All the work that I'll be talking about has been
3 done at Test Area North, which we call TAN, both in the TAN
4 Hot Shop and hot cell and then also on a pad that's located
5 outside the TAN Hot Shop. Between the period 1985 and 1991,
6 we did an elaborate test program where we tested the
7 performance of dry storage casks. We tested both metal and
8 concrete casks. We actually tested four casks, three metal
9 casks and one concrete cask, and in those casks we tested
10 their performance with both intact Westinghouse 15 x 15 PWR
11 assemblies, and then we took some of the assemblies apart and
12 consolidated the fuel rods into canisters so we had two
13 assemblies' worth of rods in one canister. And the canisters
14 had about the same dimensions as the fuel assembly, so we had
15 2 to 1 consolidation.

16 Most of that testing work was completed in '91.
17 Since that time, we've been storing the fuel in the casks on
18 a pad out at TAN, and then also been doing some wrap-up
19 maintenance and modifications on the casks getting them into
20 storage configurations. The storage actually occurs out on
21 the pad, and then we also use the TAN Hot Shop to do
22 maintenance work on the casks, and also we have the
23 capability of bringing the casks into the Hot Shop to do any
24 inspections or maintenance work.

25 Our current inventory, the first cask, the TN-24,

1 is a metal cask, has a capacity to hold 24 PWR assemblies.
2 Right now it has 7 consolidated canisters in it. The second
3 one, the VSC-17, is a concrete cask with a steel liner, and
4 it has the capacity for 17 PWR's and it currently has 17
5 consolidated canisters. The third cask is another metal
6 cask, the MC-10. It has the capacity for 24 and it has 18
7 intact 15 x 15 assemblies. And then the last one is a
8 nodular cast iron V-21 cask. It has the capacity for 21
9 assemblies and it has 21 intact assemblies.

10 And we are currently doing an enhanced monitoring
11 program on these casks. This work is still funded by RW, and
12 the intent, really, is to demonstrate the performance of the
13 spent fuel under long-term storage conditions. The fuel is
14 all stored in a helium atmosphere and the temperatures are--
15 well, the last time they were measured, the highest
16 temperature was about 340 to 350 C, and there's been some
17 decay since then, so it would be cooler than that, and it
18 varies with ambient conditions, of course.

19 This is a photograph that was taken some years ago.
20 Not all the casks are in this picture. This is the TN-24.
21 This is the V-21. This is an empty cask that's out there,
22 the REA-2023. This thing here is our transporter. It has
23 the capability to come over and straddle a cask, and then
24 these lifting arms attach the trunnions and then it can lift
25 the cask and then you attach a vehicle to the transport and

1 it will pull it back into the Hot Shop, which is back in
2 here. You'll be seeing this tomorrow, I think.

3 Description of our monitoring program. As I said,
4 we have an enhanced monitoring program that's being directed
5 by RW, and the purpose is to do a little more inspection than
6 a utility would normally do to try to gain some more
7 information about the long-term performance of the fuel in
8 the casks. Our monitoring program consists of a daily
9 surveillance, quarterly gas sampling, and then if conditions
10 warrant, we have the capability to do fuel inspections.

11 The daily surveillance is pretty simple, we just go
12 out and walk around the cask, make sure cooling vents are
13 cleared of tumbleweeds and things like that. And then we
14 also have pressure transducers located inside the casks so we
15 have the capability to monitor the internal cask pressure.
16 The casks are maintained at a positive pressure. As I said
17 before, with the helium atmosphere, the pressures are
18 normally about 1.2 to 1.8 atmospheres.

19 Then we selected two casks, the VSC-17 and the V-21
20 to do quarterly gas sampling. Those two casks are the ones
21 that are fully loaded, one with intact fuel and the other one
22 with consolidated fuel. We take a sample from the cask of
23 the helium atmosphere, and then it's analyzed by mass
24 spectrometry for these, and I won't read all of them. The
25 ones we're primarily interested in are nitrogen, oxygen and

1 hydrogen, because if we see like nitrogen or oxygen, it would
2 indicate possibly a failed seal or some other problem with
3 the cask. We do a gamma scan to look for krypton-85.
4 Krypton-85 would be indicative of failed cladding on the
5 fuel. And then we also look for carbon-14. The purpose of
6 doing the carbon-14 test is the information that's been
7 requested by the repository. There's the potential, I guess,
8 for carbon-14 to be released from the fuel. It's a volatile
9 material, and if an MPC or something like that were to fail
10 in the repository, then there would be a potential to release
11 carbon-14 and get out through the ground barrier.

12 And then, as I said, we would do fuel inspections
13 only if we had indication of damaged fuel or some problem
14 with the casks. And so far, our results this year have shown
15 no indications of fuel failures.

16 Our future plans, at least for the next five to six
17 years, are to continue the monitoring program pretty much the
18 way it's going right now. We plan to reduce the gas sampling
19 period to once per year based on the fact that we haven't
20 found anything very interesting this year. And then we will
21 continue to have the ability to do fuel inspections if the
22 problems occur. We have developed procedures and equipment
23 to do fuel inspections if we need to. We could do a variety
24 of different kinds of inspections. Most likely we would do
25 visual inspections where we'd pull the fuel up out of the

1 cask and look at it through the Hot Shop windows and then
2 also do video inspections. We could also take crud samples,
3 do some scrapings or, if we really had to, we could even take
4 a fuel assembly out of the cask and bring it into the hot
5 cell for more detailed sampling or something like that.

6 Long-term there's a plan to move all the INEL fuels
7 down to ICPP, and so when we finally get around to doing that
8 with these particular casks and fuels, then we'll have to
9 evaluate the impact on the monitoring program.

10 DR. LANGMUIR: Question, Dave, are you and Norm both
11 going to talk during this fifteen-minute period that we have
12 schedule?

13 MR. ABBOTT: Yeah. I have two more lines and I'm done.

14 DR. LANGMUIR: Okay, you're almost into questions for
15 the overall presentation.

16 MR. ABBOTT: Okay. Well, I answered all the questions
17 in my presentation.

18 Then we'd do a final inspection and look at
19 different alternatives for fuel disposition, the most likely
20 being, for this fuel, I think, would be to put it in MPC's
21 and then ship it to the repository.

22 I'm done.

23 DR. LANGMUIR: Okay, let's hold questions till the end
24 of both presentations.

25 Norm, you've got five minutes.

1 (Pause.)

2 DR. LANGMUIR: You have four minutes.

3 MR. ROHRIG: I'm Norman Rohrig, and I'm going to be
4 talking about the non-fuel bearing components from the Dry
5 Rod Consolidation Technology Project. This stuff essentially
6 is what's left over after consolidating for the eight fuel
7 elements, and that was done in 1987. The fuel elements were
8 consolidated. They're now out on the casks on the storage
9 beds which you just heard about, and we're now talking about
10 how to get rid of this stuff in a way so it's not hanging
11 around forever.

12 There are three reasons to do this: avoid ongoing
13 costs of the pool storage, uncertainty in future storage
14 costs, and the desire to close the pool by approximately the
15 year 2000.

16 Essentially we've characterized the waste based on
17 radiological analysis done back in 1987. The inconel grid
18 spacers and upper end fitting hold-down springs are DOE
19 Special Case Waste--that's sort of a euphemism for Greater-
20 than-Class C--due to the niobium-94 content from the inconel.
21 The lower end fittings are sort of borderline Special Case
22 Wastes due to nickel-63 in them. And the upper end fittings,
23 guide tubes, and borated aluminum poison rods are low-level
24 wastes. The end fittings are stainless and the guide tubes
25 are zircaloy.

1 Waste disposition is Special Case Waste will be
2 placed in stainless steel drums and stored in shielded
3 underground concrete vaults at the Radioactive Waste
4 Management Complex. The low-level waste will be placed in
5 carbon steel drums and disposed of in the shielded soil
6 vaults also at RWMC. And all drums are UN/1A2 certified,
7 which means that they're 55-gallon drums except they're
8 taller because that way it reduces the number of trips to the
9 repository.

10 Waste processing, the upper end fittings are being
11 removed, essentially by drilling the bolts out that hold them
12 down. There is a remote operated shear which has been
13 designed and tested on mockup assemblies, which will be used
14 to cut the grid spacers out of the assemblies. And after
15 they are sheared, you have little pieces of grid spacer tubes
16 which go in one bucket, the grid spacers go in the other
17 bucket along with the lower end fittings go with the grid
18 spacers, etc. Fairly simple.

19 Waste transportation, it's a standard 55-gallonish-
20 type drum. It's taller, 52 inches. The route includes five
21 miles of public highway, and so an NRC licensed
22 transportation cask will be used.

23 I'm done.

24 DR. LANGMUIR: Remarkable. You're on schedule. You
25 guys practiced. We have time for questions for both

1 speakers. Since Norm is up there, any questions for Norm
2 from the Board?

3 (No response.)

4 DR. LANGMUIR: They understood everything. Questions
5 for Dave? Carl Di Bella?

6 DR. DI BELLA: Carl Di Bella. I noticed that your
7 picture of three casks were all vertical casks, and the
8 current conceptualization that OCRWM has for a repository is
9 a robust waste package that would be stored more or less
10 horizontally. And this would put definitely some different
11 kinds of stresses on the fuel rods inside. Do you have any
12 horizontal tests going on or planned?

13 MR. ABBOTT: We don't have any horizontal tests going
14 on. I think the orientation of this demonstration program
15 was more towards dry storage at reactor facilities and that
16 sort of thing.

17 DR. DI BELLA: Well, along the same lines there, a major
18 supplier is a horizontal supplier.

19 MR. ABBOTT: The NUHOMS, yeah.

20 DR. DI BELLA: I don't know what their names are now,
21 but--

22 MR. ABBOTT: Yeah, the casks--actually, during the early
23 test program, the casks were tested in both the horizontal
24 and vertical for cask performance, but the storage of the
25 casks was all in vertical orientation.

1 DR. LANGMUIR: More questions, Board, Board staff?

2 (No response.)

3 DR. LANGMUIR: Okay. Well, thank you.

4 MR. ABBOTT: Thank you.

5 DR. LANGMUIR: The next presentation will be given by
6 Jeff Snook. The title is "Overview of the INEL High-Level
7 Waste and Contaminated Metal Recycle Programs."

8 (Pause.)

9 MR. SNOOK: I'm Jeff Snook. I'm the High-Level Waste
10 Team Leader for the Chem Plant. My boss gave me that title
11 because he thought it sounded better than The Stuff Nobody
12 Else Wants Team Leader. Essentially I own everything at the
13 Chem Plant, or my group does, that does not have the words
14 "spent fuel" in it. I'll be talking to you a little bit
15 about the program, the direction we're taking, the history
16 we've had, and Brent Palmer will be next, talking to you
17 about the technologies that have been derived from our
18 program.

19 Our mission is easy to state--it's been rather
20 difficult to execute--to treat and dispose of tank farm and
21 calcine wastes. And that target has shifted over the last
22 couple years. We have eleven high-level waste tanks that
23 contain a mixture of sodium bearing waste and high-level
24 waste. We have to be out of the five pillar and panel tanks
25 by March 31st, 2009, and the remaining tanks we have to cease

1 use by June 30th, 2015. Our program also is researching how
2 to treat these wastes for final disposal and get them ready
3 to ship for the final disposal site when it's available.
4 Right now our technologies that we're planning on utilizing
5 when we do treat our wastes is to separate both the sodium
6 bearing high-level waste and calcine into a high- and low-
7 level constituent, so that way we greatly reduce the volume
8 of high-activity waste or high-level waste going to the
9 repository. And we'll dispose of low-level waste that will
10 meet Class A requirements so we can dispose of it in a low-
11 level waste repository.

12 This is the situation we currently have with our
13 tanks. The only tank we have that currently contains high-
14 level waste is WM-189. The rest are sodium bearing wastes,
15 not technically considered high-level waste, although they
16 are very high-activity wastes and they're essentially treated
17 as high-level waste because of their activity.

18 We also, throughout the history of the Chem Plant,
19 have solidified our liquid waste into a calcination process.
20 We sent these into the calcine bins for interim storage. We
21 currently have seven calcine bins. The first five are
22 completely full, the sixth we just started filling on our
23 last calcine campaign, and the seventh has completed
24 construction and has not yet been certified but is ready to
25 handle calcine when necessary. We currently have a total

1 volume of about 135,000 cubic feet of calcine and a remaining
2 capacity of over 114,000 cubic feet.

3 A little bit on the program history. Last time you
4 were here, our plan was to continue calcining, turn our
5 calcine into a glass ceramic, and send that for final
6 disposal. Since then our plans have changed somewhat,
7 because in April 1992 the DOE decided to stop reprocessing
8 spent nuclear fuel. This was a critical decision to our
9 calciner. As you saw, most of our waste is sodium bearing
10 waste. If we process the sodium bearing waste by itself, it
11 has a very low melting point and will agglomerate our
12 calciner bed, essentially mucks it up, mucks up the system.
13 We complexed that with our high-level liquid waste, what came
14 from a result of reprocessing. That prevented it from
15 agglomerating the bed and made the calciner a very efficient
16 operation. Without that high-level liquid waste, we have to
17 add a tremendous amount of inert materials to complex the
18 sodium waste, and you essentially reduce our throughput of
19 the calciner and you're treating stuff as high-level by just
20 adding inert materials. So you're increasing the volume of
21 high-level waste that would go to the repository. So that
22 started our program of High-Level Waste Technology
23 Development to find a more efficient way to treat our wastes
24 at the Chem Plant, because the calciner was no longer an
25 efficient method for us to treat our wastes.

1 So we started our program called the High-Level
2 Waste Technology Development Program, and two other programs
3 got tacked onto that called the Decontamination and the
4 Radioactive Scrap Metal Program, which I'll be addressing at
5 the end of this. After a couple years, our plan called for
6 constructing and operating what's called a Waste
7 Immobilization Facility, or a WIF. It would treat our high-
8 level liquid waste, our sodium bearing waste and our calcine.
9 The WIF would come on line in time to help us cease use of
10 our liquid waste tanks by 2009 and 2015.

11 So we got to the point of selecting our
12 technologies that would be used to start to the WIF project,
13 and the Department of Energy realized we didn't have enough
14 money to pay for all the facilities, the treatment
15 facilities, that were required on the INEL and across the DOE
16 complex. And as an example along the same time period this
17 WIF would come on line, the true treatment facility to
18 prepare our waste for WIF and Pit 9 were all coming on at
19 about the same time and we just flat couldn't afford that.

20 Around the same time, we got the new contractor,
21 LITCO. We'd been doing systems analysis before then and it
22 was a bit of a learning curve. When LITCO came on line, they
23 had a tremendous amount of systems analysis experience,
24 helped direct our systems analysis effort a little more
25 tightly, and they came up with what's called an EM integrated

1 plan, which was to integrate all our INEL facilities to
2 hopefully save ourselves some money. As an example, the TRU
3 treatment facility and the WIF have a lot of the same
4 processes, so if we can use one facility to treat both sets
5 of waste, it would be a tremendous savings. But TRU has to
6 meet the WIPP opening schedule of 1998 and closing at 2018,
7 so their waste was going to be treated before ours, and by
8 finishing off around 2016 or so, you can see that facility
9 would not help us get out of the liquid waste tanks by 2009
10 and 2015. So again we had to redirect our program somewhat,
11 although we did select the technologies with a Record of
12 Decision this June that would be used to finally treat our
13 wastes and prepare them for final disposal. And those
14 technologies Brent Palmer will delve into in his
15 presentation.

16 So our program is now looking at more efficient
17 methods of calcination. We have recently decided to start
18 looking at--you may hear the term "sugar calcination" or
19 "high temperature calcination." We currently calcine at 500
20 degrees C. One of the ideas is if we calcine upwards of 800
21 degrees C, we can denitrate our waste and have a much more
22 efficient calciner. The final treatment schedule is
23 currently being negotiated with the state via FFCA
24 negotiations, and these will be completed by October 6th,
25 1995--this year. The sugar denitration we're looking at

1 also, but as you may imagine, putting organics in our system
2 causes some problems, so we have some challenges to overcome
3 looking at these two. But if they work, we plan on
4 installing this after our second calciner campaign, and by
5 more efficiently calcining, it will help us get out of our
6 tanks by 2009 and 2015.

7 And that was all I had for the High-Level Waste TD
8 Program. Before I go into the scrap metal program, are there
9 any questions?

10 DR. LANGMUIR: Why don't you go ahead and we'll take all
11 questions together.

12 MR. SNOOK: Okay. Scrap Metal Program. Any questions?
13 I've got a little bit more, but essentially the Scrap Metal
14 Program is a nonentity anymore at the INEL. The program died
15 at the end of the last fiscal year. We've been trying to
16 resuscitate it. We're still trying, but so far no one else
17 has picked it up. But let me tell you what happened.

18 The program started in July of 1992 along with the
19 High-Level Waste TD Program as kind of an add-on.
20 Headquarters wanted someone to start a scrap metal program at
21 the INEL. This was a new program that was being started, the
22 High-Level Waste TD Program, so they stuck it on because
23 there was some money. I was called a cash cow for the first
24 two years of this program because this was one of the few
25 programs that was getting additional funding at the time.

1 The goal of our scrap metal program was to make
2 products from contaminated scrap metal that would see a
3 radioactive use. At the very inception of the program, there
4 were some very limited discussions about free releasing this
5 contaminated metal, but those died in the first ten minutes
6 of our first meeting and just because of the challenges to
7 overcome were just too much. But if we could make products
8 that would see a contaminated use, such as spent fuel
9 canisters, low-level waste contaminated boxes that stay
10 within the DOE system, it was a pretty easy challenge to
11 overcome. And then the goal was to turn this program private
12 so that DOE didn't keep funding it.

13 EM-30 was the funder, initial funding source, for
14 this program, and they decided to drop the program because
15 there were no legal or regulatory drivers for it. It's not
16 really within EM's charter to run a program like this. There
17 was no reason for EM-30 to fund it. Money was getting very
18 tight, they decided it could be used better elsewhere, and it
19 was very hard to argue that with EM-30 from their point of
20 view.

21 Prior to the demise of the program in October of
22 last year, we had inventoried the scrap metal at several
23 sites. We had a tremendous amount of interest from private
24 industry, especially those with shut down nuke plants that
25 were trying to figure out what to do with all their scrap

1 metal. Rather than paying somebody to go into a landfill,
2 these guys were willing to disassemble and hand it to us for
3 free, and they were jumping all over this program. Most of
4 the required technologies had been demonstrated, and WINCO at
5 the time, LITCO now, had shown this program to be cost
6 effective. And by that I mean it was cheaper for us to take
7 contaminated metal and turn it into a contaminated product
8 than it was for us to buy the same product with clean virgin
9 steel, which was why we figured it would be a good private
10 enterprise, because somebody could commit money on it and it
11 would still be cheaper for us.

12 We were to the point where this year we're going to
13 be producing carbon steel boxes for RWMC when the program
14 died. We were going to demonstrate production capacity this
15 year and then end of this year, beginning of next fiscal year
16 try to turn it over to a private enterprise. And that was
17 when EM-30 decided to kill it.

18 That's all I have.

19 DR. LANGMUIR: Thank you, Jeff.

20 Questions from the Board or Board staff?

21 (No response.)

22 DR. LANGMUIR: I had one that maybe it's just by way of
23 educating me. Hanford has tanks as well, of course, lots of
24 them. Are your tank wastes very different than theirs? Do
25 they require a different approach?

1 MR. SNOOK: Yes.

2 DR. LANGMUIR: They do.

3 MR. SNOOK: Yes.

4 DR. LANGMUIR: In a word, yes.

5 MR. SNOOK: Their waste is--essentially, one of the big
6 changes is their waste is a basic form and ours is highly
7 acidic, and Brent, I'm sure, will get into that, but a lot of
8 people ask, "Why don't you just do what Hanford does?" and
9 the answer is because we just flat can't do it. The wastes
10 are completely different, require different technologies.
11 One example is our low-level waste is very amenable to a
12 grout form. It just does wonderful on grout but doesn't do
13 as well on glass, and with Hanford that's almost flip-flop.

14 DR. LANGMUIR: John Cantlon?

15 DR. CANTLON: Yes, as you contemplated privatization of
16 this process, were you visualizing that happening on a DOE
17 facility?

18 MR. SNOOK: Are you talking for scrap metal?

19 DR. CANTLON: Yeah.

20 MR. SNOOK: One possibility was at SMC on Test Area
21 North. They have unique capabilities there. One possibility
22 was to use their facilities. Another was to build a private
23 facility on site or go off site. We were not limiting
24 ourselves, we just wanted to tell people, "We can produce,
25 these are our capabilities, we want a cheap box. Do it."

1 DR. CANTLON: Thank you.

2 MR. SNOOK: Thank you.

3 DR. LANGMUIR: Carl?

4 DR. DI BELLA: These are two clarifications. Carl Di
5 Bella. On your radioactive scrap metal, the low-level waste
6 that you're talking about that these carbon steel boxes could
7 be used for, I assume this is a DOE low-level waste, or low-
8 level waste in general?

9 MR. SNOOK: Initially it was going to be an INEL
10 program, so it would be DOE/INEL waste. But we have had the
11 interest of other people, other sites for producing boxes,
12 sending the boxes to them, and then they can do whatever
13 they'd like with them.

14 DR. DI BELLA: Okay.

15 MR. SNOOK: But yes, initially it was for DOE use.

16 DR. DI BELLA: And the other clarification is on your
17 calcination, I guess I was under the misimpression that your
18 calcination removed a substantial fraction of nitrates, and
19 you're saying it doesn't.

20 MR. SNOOK: Brent?

21 DR. DI BELLA: Is that correct?

22 MR. PALMER: It does, but we still remain with five to
23 ten percent nitrates in the calcine, and that's enough to
24 give us the problem he described.

25 DR. DI BELLA: Okay, thanks.

1 DR. LANGMUIR: Thank you, Jeff. I guess there are no
2 further questions. I guess we'll proceed.

3 Next presentation is by Brent Palmer. The title is
4 "High-Level Waste Treatment Technologies."

5 MR. PALMER: Brent Palmer. I've been associated with
6 most of the activities at the Idaho Chemical Processing Plant
7 and High-Level Waste Treatment Area, so they asked me to give
8 this particular presentation.

9 The treatment program and particularly the
10 development program that Jeff described has some very
11 specific purposes, and I think they're described here pretty
12 well, is to develop and demonstrate safe, cost effective, and
13 environmentally responsible methods for conditioning, interim
14 storage, qualification, and finally, disposition of the INEL
15 high-level wastes. And the high-level wastes that we're
16 talking about currently include the inventory of calcine in
17 the bins--that's the primary amount of it--the last remaining
18 tank of high-level waste that's in the tank farm, and then
19 probably the biggest challenge of all those is the sodium
20 bearing waste that Jeff described. The sodium bearing waste
21 is produced with our decontamination, decommissioning efforts
22 of some of our solvent clean up and activities like that have
23 occurred in the past that are not directly related to
24 reprocessing but come about as a result of reprocessing
25 activities. And the challenge there comes because of the

1 sodium, as Jeff described, it's difficult to run through our
2 calciner.

3 Our calciner started its operation in 1963, and it
4 was a very farsighted thing back then by the people that ran
5 the Chemical Processing Plant then, and it's worked very
6 successfully for us for these last 30 years. So as we look
7 for new technologies or ways to treat the waste, we always
8 look at that unit to save our hides again and again. And
9 it's happening again here, and I'll describe a little further
10 here in a moment why that's the case.

11 As I discuss the Treatment Technologies
12 Development, I'm going to depart here a little bit from the
13 norm. Normally I would launch right into here and how we
14 treat the wastes: we separate them, we dissolve them, you
15 know, we calcine them, whatever it is. But recently I've
16 become a real believer that there's some up front work in
17 most of these areas that is very productive if you do it
18 first, and that is an analysis of the systems, a systems
19 engineering or systems analysis approach.

20 With most technical problems, there's more than one
21 solution. In fact, a lot of times there's a lot of
22 solutions. None of them are usually the perfect solution.
23 All of them have advantages and disadvantages, and it's very
24 difficult to determine which one is the best or the better of
25 the ones that are available. And so from that standpoint,

1 sometimes instead of just taking the bull by the horns
2 approach and diving into it the way that I personally usually
3 do, you step back and take a careful look and do a careful
4 analysis and a modeling of the situation. Sometimes that
5 pays big dividends. So I want to discuss that with you for
6 just a moment and follow that up then with the actual process
7 development, the technical area.

8 In a typical systems analysis approach--and we try
9 to be fairly rigorous in our approach to this, and what I'm
10 describing is an effort we've done over the last year and a
11 half. Anyway, in an approach like this, you establish what
12 the problem really is and what the goal of the activity
13 you're pursuing is. Then you determine very carefully the
14 functional requirements for the program and hopefully can
15 quantify those functional requirements. Put some measurable
16 form against them so you can judge how well each alternative
17 measures up against them. You then do something like a VE or
18 a brainstorming approach and you make a real laundry list of
19 the possibilities. What options are available to us, or
20 alternatives and technology, to solve this problem? Then you
21 take each of those alternatives, weigh them against the
22 function requirements, and maybe change them a little bit and
23 then weigh them again and weed out the ones that don't
24 measure up, and do this in a cyclic process till you finally
25 determine that based on the function requirements--"on our

1 waiting, we did teach the function requirements. Here's the
2 best one of all of them." And then recommend and implement
3 whichever one floats to the top.

4 For our particular case, we had quite a number of
5 functional requirements, and I've just chosen a few here to
6 talk about. We don't have time to go into the whole list,
7 but the ones that almost always are the most important to all
8 of us.

9 There's safety, of course, and for safety what we
10 required in our evaluation was that industrial safety
11 aspects, radiological safety aspects, environmental safety,
12 they must meet all of the regulations. Now, with most of
13 these alternatives you can build your facility more sturdy or
14 something like that to overcome them. But we did insist that
15 we could identify a way to make the process safe from those
16 standpoints.

17 With most of the systems in the DOE and even with
18 industry or anywhere, life cycle costs or costs in general
19 become extremely important, probably more than almost any
20 other. We put safety at the top, but when it comes right
21 down to making a decision, once safety is taken care of, the
22 costs nearly always are given a real high weight. But not
23 only life-cycle costs, sometimes near-term costs because of
24 budgeting restraints set in as well.

25 Regulatory requirements. We insisted that the

1 option either meet all the regulatory requirements or that we
2 had reasonable assurance that we could get a variance from a
3 particular requirement for a specific reason.

4 Waste volume, we wanted to minimize volumes. This
5 was apart from the life-cycle costs considerations. It's
6 just bad practice to make huge volumes.

7 Process flexibility. I like the presentation was
8 made, you know, one thing fixes all. That's kind of a nice
9 system if you are smart enough to come up with that. But for
10 us, we don't know for sure what wastes will be made in the
11 future by our D and D efforts, for example, so if there's a
12 choice between two processes and one is more flexible, that
13 one certainly gets higher credit.

14 For our system we wanted to be very careful, so we
15 came up with a whole list of options. And I won't go through
16 these with you, it's just too boring and too long. But we
17 did go to great lengths to try to identify all the possible
18 options and all of the possible treatment methods that were
19 available to us where the technology was developed at least
20 to the level that we felt it could be completed within just
21 three or four, maybe five years on the outside of additional
22 technology development. Now, you can see here we came up
23 with 27 different options, and then even beyond these options
24 was 3 to 5 more methods of solidifying the waste to make it
25 amenable to final disposition. So many, many options

1 available, just too many to look at and determine which one
2 is best.

3 So we built a model, a computer model, on this
4 process and embedded all of the schedule and the costs and
5 the technology that we had at our fingertips, and the model
6 it turned out proved to be extremely valuable. It wasn't a
7 huge effort. I think the total effort expended in the model
8 was less than a man year, but it proved to be invaluable and
9 I want to show you some of the results that came about in
10 that model. And actually not necessarily the results per se,
11 but the types of results that it was able to give us.

12 For example, one thing I mentioned was we had to
13 meet the regulatory drivers. One of the primary ones that
14 Jeff mentioned was we have to cease use of some of our waste
15 tanks by given dates. One thing this model did very nicely,
16 it would take any option or combination of options we chose
17 to try to model and you'd push a button and it would print
18 out a chart something like this and show us, did it indeed
19 meet the regulatory requirements or did it not. You can see
20 the upper line there, and here this one coming down here did
21 not make it, didn't make that particular requirement, whereas
22 our other option here met it rather easily.

23 These types of charts, doing them by hand would
24 take hours and hours and hours to develop each individual
25 data point as the schedule went on. The model made it very

1 easy. Computers are wonderful, wonderful things.

2 Another type of thing was with the costs. It's
3 important to minimize the life-cycle costs, and we recognize
4 that importance, but with the near-term budget crunches that
5 always seem to occur, it's almost always equally important to
6 try to minimize the five-year costs, the shorter term costs.
7 So one thing that the model did very nicely is it could
8 print up a graph like this, where we took each of the 27
9 different options--and these are numbered here to reference
10 back to the other chart--and place them where they stood
11 relative to five-year costs on the vertical axis as opposed
12 to the life-cycle costs on the horizontal axis. You would
13 say, now, for example there's Option 20, for example, pretty
14 low life-cycle costs, so if you only looked at that option,
15 you would say, "Yeah, 20 would fall in there pretty well, but
16 it's got quite high five-year costs." So you could see
17 pretty readily that maybe the options we would want to
18 consider further from the cost basis would be down here in
19 the lower left corner. Again, a very time-consuming thing
20 without a computer, very easily done with it. But a very
21 nice tool that falls out very naturally from a systems
22 analysis standpoint.

23 Another output that the model made was budget
24 requirements as a function of time. One thing that is very
25 difficult for DOE to handle is big, big spikes. Now, with

1 this particular thing, in some of the options, when we built
2 the plant, we had a huge construction spike. One of the
3 things we were trying to do with the model was show methods,
4 develop methods where we changed various parameters to
5 levelize the funding requirements. This one turned out to be
6 very nice, quite level. In fact, this Option 10 was the one
7 that finally did float to the top. Very level, whereas many
8 of the rest of them had big spikes in one area or the other,
9 very undesirable for trying to budget.

10 Other things that the model could produce that were
11 useful that I haven't included on the graphs were things like
12 taking each option and sorting them by life-cycle costs or by
13 near-term costs and show us very readily which ones are the
14 minimum cost or the maximum cost.

15 Lots of other output. However, here's one form
16 here that summarizes the results in a pretty nice way. And
17 you can refer back to this a little later. Again, it's kind
18 of complex, but it does have a lot of nice information here.
19 Here's our total volume of waste currently that we have in
20 the tank farm, and we have two basic choices to make. Do we
21 separate it as Jeff mentioned into high- and low-level
22 fraction or is it better to leave all of the waste, including
23 the fuel cladding and fission products and transuranics, in
24 one form and send it all to the high-level repository? Then,
25 if we do separations, how then do we treat the low-level

1 fraction and the high-level fraction to be most cost
2 effective or most volume effective? And the model produced
3 all of these numbers, the volumes and the dollar amounts
4 associated with each form, and then we can compare them.

5 And the final decision based on the output of this,
6 and here again, based on volumes and based on costs, are that
7 this Option No. 10, which was to separate the waste into
8 high-level fraction and a low-level fraction followed by
9 converting the low-level waste to a grout form--and this
10 FUETAP stands for Fixed Under Elevated Temperature and
11 Pressure; that improves the density over a conventional
12 grout--followed by vitrifying the high-level waste in a glass
13 form similar to what most of the rest of the complex,
14 actually the world, is doing, is the most desirable form.

15 And the life-cycle cost for that--and that includes
16 all of the activities that takes the facilities clear out
17 through D and D until they finally are completely no longer
18 of any concern from the safety standpoint--compares \$2.3
19 billion--these costs are all in millions that are on the
20 chart--2.3 billion against 4.3 billion for this option, which
21 was pretty close. Some of the options went up as high as \$6
22 or \$7 billion, so you can see the one that we chose was
23 considerably cheaper. When you talk billions, though,
24 everything's relative, you have to take that with a grain of
25 salt. It's a huge amount of money to treat the waste.

1 But we were very comfortable that when we finished
2 this analysis that given the data we had at the start of this
3 program and embedded it in the model, we then had chosen the
4 right path then to continue our more technical studies. So
5 based on that systems analysis approach, then we began
6 actually looking in more depth with the techniques available
7 to us to actually treat the waste.

8 Our first cease use date for the tank farm comes in
9 2009. That does not give us any time or sufficient time to
10 implement a new technology, so in order to meet that
11 particular date, we have to depend on existing technology at
12 the Chem Plant to treat the high-level waste. And of course
13 that's the calciner. The calciner's been functioning--we've
14 had to replace it once with a new one, but the calcination
15 process has existed at the Chem Plant for 30 years and has
16 worked very well. So the basis of this whole process is
17 continued calcination to meet the near-term requirements,
18 regulatory requirements, that we've come to agreement with
19 the state and the EPA.

20 One thing that's more of an aside than anything
21 real important, we do have to retire all of our liquid
22 tankage that we have now because of RCRA concern and seismic
23 concerns by the year 2015. So we do have to have some surge
24 capacity to continue our operations, so we do have to replace
25 some of that liquid tankage.

1 And then the second really major point is
2 implementation of new technology to meet the long-term goals.
3 And the decision there, then, based on the systems
4 engineering study, was to separate the waste in the two
5 fractions, the high-activity stream and a low-activity
6 stream. Vitrification of the high-activity stream and
7 grouting of the low-activity stream. And although we feel
8 comfortable with those choices that we've made, there are
9 still some real challenges in the technology and the
10 implementation of the technology.

11 For the calcination, we've had difficulty calcining
12 the sodium bearing waste all of our time out there. However,
13 we were very successful in blending with our high-level
14 waste. But since April of '92 when reprocessing of spent
15 fuel was curtailed, we very quickly depleted that supply and
16 no longer have it, so we have to go to other options. The
17 option that has been tested and proven and does work
18 reasonably well is substituting non-radioactive aluminum
19 nitrate for the spent fuel materials. And although that
20 works well, and we could use it, it's substituting a non-
21 radioactive species, and quite a bit of it, for a radioactive
22 species that was there before. So it makes extra waste
23 volume we would like to avoid.

24 So we are attempting some new technology. Jeff
25 mentioned a couple of them, sugar or--and it isn't limited to

1 sugar, there are other things like formaldehyde, formic acid.
2 Those types of chemicals, when blended in with the liquid
3 stream or sprayed separately into the calciner will promote
4 denitration in the hot fluidized bed. And it is the nitrate
5 species that's giving us the problem. The sodium nitrate
6 melts around 350 degrees centigrade and our bed operates at
7 500 degrees centigrade, so it tends to agglomerate in the bed
8 and in the bin storage. The bin storage is probably the more
9 critical of the two, and we want to maintain our bin storage
10 in the retrievable form, so we have to very carefully then
11 control that sodium content. So any denitration chemicals
12 would aid us in that.

13 The last thing we've come up with now that does
14 look attractive is the higher temperature. The higher
15 temperatures very rapidly promote denitration. At 500
16 degrees centigrade, though, we just have not been able to get
17 rid of all the nitrates. At 7, 800, based on the limited
18 tests we've done, we're confident we can eliminate enough
19 nitrate that it is no longer an issue.

20 Separation technologies. This also was a
21 challenge. We looked at a number of things. I've listed the
22 main ones here. Freeze crystallization, sodium extraction,
23 both of those actually try to separate the sodium from the
24 rest of the waste so we could more easily treat the remaining
25 waste. The sodium separations method relied then on the

1 sodium being separated efficiently enough from the fission
2 products it would become low-level waste and could be
3 disposed of in that fashion. Precipitation is similar to
4 what the other sites are doing when they neutralize their
5 waste and drop the bulk of the fission products out and
6 separate that from the remaining solution. Pyrochemical
7 elevate the temperature of the calcine. For example,
8 aluminum or zirconium at least hopefully would be volatilized
9 and most of the fission products would remain. Although the
10 concept looked pretty good, it's been more of a challenge
11 than we could handle. It didn't get the separations we would
12 hope for.

13 So when all was said and done, radionuclide
14 partitioning--and I'll describe the details of that in just a
15 moment--was selected as the separation technology of choice,
16 and specifically we would--of course our fission products of
17 biggest interest are strontium and cesium--separate the
18 strontium using an extraction process. And the chemical that
19 we found that worked best with our waste and with this
20 specific chemical, strontium, was a crown ether, and we found
21 it to work very well. We've tested it in the laboratory on a
22 cold scale and we've tested it with tracers and with a
23 limited amount of actual waste and it's performed very well.

24 Separation of cesium, this one is a bit more of a
25 challenge. We're not anywhere near done with the testing

1 here. Since our cesium separation has been done very
2 successfully at the other sites--as Jeff mentioned, other
3 waste is quite different from ours. It's in the basic form
4 and ours is in the acid, and the acid presents a whole new
5 challenge with separation of cesium and there's very limited
6 ways of doing that and we're still struggling with that a
7 little bit. The ammonium-molybdophosphate that I've
8 mentioned here is a good ion exchange agent, but we've yet to
9 figure out just how to implement it on the engineering
10 fashion into the process. That's probably surmountable,
11 we've still got some work to do there.

12 Separation, then, of the transuranics using a
13 process called TRUEX, Transuranic Extraction. This process
14 was actually developed at Argonne East and functions very
15 well for us with our waste. We've demonstrated this again in
16 the lab with tracers and with actual waste, so it works very
17 well. We have few reservations about that. Since it's an
18 extraction process at the Chem Plant and throughout the
19 complex, we feel pretty comfortable with extraction
20 technology based on the old Purex type work we're all
21 familiar with.

22 High-Activity Waste Vitrification, as you heard
23 when you were here three years ago and as Jeff mentioned,
24 glass ceramic over the years has been the choice that we were
25 going to go towards, and that was based on vitrifying the

1 entire calcine volume. And that process worked very well
2 with that. It makes a very durable form, very nice form,
3 very dense. We got waste loadings that were really
4 impressive. However, once we did the systems analysis, it
5 very clearly showed us that the cheaper way to go was glass.
6 It's not a technical decision, it's a cost decision, because
7 glass makes a--the ceramic is a very durable form and the
8 glass is a very durable form. So based on the economics, we
9 did select the glass, and the glass is very much like what is
10 used throughout the complex, in fact throughout the world.
11 There's very similar, slight differences in the frit makeup
12 and the additives just to better fit our material, but leach
13 tests and everything on it work very well. We don't have too
14 many worries there.

15 Low-Activity Waste Immobilization, here again we
16 looked at three ideas, glass, glass ceramic and then grout.
17 And we could immobilize our low-level waste in any of these
18 three. They did make durable forms. Here again, the grout
19 made just as durable a form as the other as long as we made
20 it carefully, did our recipes carefully. However, it's much
21 easier to implement, it doesn't have the high temperatures,
22 high pressures involved like the other processes, so it's
23 relatively easy to use, very inexpensive relative to the
24 others. It doesn't have the corrosion problems that we might
25 have with the other ones.

1 One difference in our waste that I don't think has
2 been mentioned is our waste has a lot of fluoride in it, and
3 once you get to elevated temperatures, the fluoride becomes a
4 real corrosion concern.

5 The grout here would be a little different than has
6 been implemented at other sites. We would not make it into a
7 large monolith, it would be in a transportable form, a
8 barrel-type arrangement, so that it could be transported to
9 wherever the site needed to be to handle it. We didn't have
10 any plans of making it non-moveable.

11 And using these technologies, here's the overall
12 plan. Our liquid waste then would be evaporated when
13 appropriate, but ultimately solidified using our calciner.
14 Calcine would then go to bin storage for an interim period.
15 And that interim period can be up to 500 years, at least
16 based on our tests, and I have to say the same thing that all
17 others before me have, that sometimes on these longer term
18 studies it's a little difficult to extrapolate. But based on
19 our tests, 500-year lifetime is within the realm of
20 possibility for these bins. So our time is fairly flexible
21 there.

22 This calcine then at some later date would be
23 retrieved, sent to a dissolver, so it's produced into a
24 liquid form. And we've demonstrated that that indeed can be
25 done, both the retrieval and the dissolution. Any future

1 wastes that are produced, liquid wastes, could also be
2 combined then into the same step.

3 Go to the separations facility, separate into low-
4 and high-activity fractions. Low-activity waste would be
5 grouted, stored in an interim basis, if necessary, and then
6 sent to the final disposal location as a low-level waste.
7 And our low-level--all of our work indicates this would be a
8 Class A waste according to the NRC standard, so a very nice--
9 if you've got to have a radioactive waste, a Class A waste is
10 a very nice one to deal with. High-activity waste would be
11 accumulated in the tanks that I've mentioned for
12 vitrification at a later date. When that came on line, then,
13 the canisters--and here again, we're still flexible; since we
14 haven't built the facility, we can make the canisters to
15 whatever a repository called for--and then finally to the
16 repository.

17 Questions?

18 DR. LANGMUIR: Thank you. I've got one for you to
19 start. My experience with grout, if it's what I'm thinking
20 it is, is it not a concrete type grout?

21 MR. PALMER: That's correct. Ours we actually found
22 that the Portland cement type worked well for us.

23 DR. LANGMUIR: Well, that's a very high pH grout, and
24 you're concerned about extracting cesium and strontium from
25 an acid waste. It would seem to me that starting out with a

1 little bit of grout addition you'd have an alkali waste and
2 you'd be into somewhat easier separations. You're going to
3 add it anyway. Can't you add a small amount of an alkali
4 material like carbonate, raise the pH, and get your cesium
5 and strontium out more readily and then continue to add the
6 alkali and the grout mix when you're done? I mean, it's
7 tough, as you say, to get these elements out of an acid
8 system. You're going to go alkaline anyway in the grout
9 process.

10 MR. PALMER: That's correct.

11 DR. LANGMUIR: Is there some way to wed these together
12 in a manner that allows you more ready extraction? I mean,
13 cesium goes beautifully on some micas, illite micas, a very
14 cheap way to go with it.

15 MR. PALMER: Um-hum. We just didn't want to deal at all
16 with going basic in the precipitation. Right now our wastes
17 are totally clear, very easy to handle, very easy to
18 retrieve, and we felt that operations we employed would be
19 more simple with a straight, nice liquid rather than trying
20 to--you know, what you say is true and it would happen, and
21 we looked at that as--if you look at that fault tree, we had
22 precipitation in there with that and we tried to look at all
23 those options. We just didn't want to get into the dealing
24 with the solids in the radioactive environment. It looked
25 like if we can solve the one problem with the cesium, it was

1 an easier way out for us. So that was a judgement on our
2 part at this time, and hopefully it was a good one.

3 DR. LANGMUIR: And your costs are not exceptional here?
4 With this method, the costs aren't that different?

5 MR. PALMER: No, no, the costs were--in fact, as I said,
6 this option was quite a bit lower in cost overall than the
7 other options, including, you know, the precipitation type
8 options.

9 DR. LANGMUIR: John Cantlon?

10 DR. CANTLON: Cantlon, Board. In one of your options
11 you were talking about use of sugar. Was this a low-level
12 waste or one of the high-level?

13 MR. PALMER: This is for calcination of the sodium
14 bearing waste.

15 DR. CANTLON: Right.

16 MR. PALMER: And here again, it's not high-level by
17 definition, it's about an order of magnitude lower in
18 activity than our high-level waste but still very
19 radioactive--

20 DR. CANTLON: Repository bound.

21 MR. PALMER: --greater than Class C type. Excuse me?

22 DR. CANTLON: Repository bound.

23 MR. PALMER: The high-level fraction after we did the
24 separations would be repository bound, yes.

25 DR. CANTLON: And you have that problem of putting sugar

1 in there, microbial problems that you have in the repository
2 if you've got sugar in--

3 MR. PALMER: Well, the sugar totally volatilizes during
4 the 500-degree step. We don't--

5 DR. CANTLON: Oh, I see.

6 MR. PALMER: There wouldn't be any carbonaceous material
7 remaining from that step in the final product.

8 DR. CANTLON: Got you.

9 DR. LANGMUIR: More questions? Carl Di Bella?

10 DR. DI BELLA: Carl Di Bella. When you showed the
11 comparison of Option 10 and Option 27, the reduction in
12 volume of high-level waste going to a repository was
13 dramatic. I think it was a factor of 20.

14 MR. PALMER: Yes.

15 DR. DI BELLA: Something like that. And the cost, I
16 think, followed that. I noticed the cost for the no
17 treatment option was on the order of \$10 billion, and the
18 other one was substantially less. My question is, of that
19 \$10 billion cost, how much of that is incurred here in moving
20 and packaging and how much of it is the transportation and
21 whatever the repository folks charge you? Do you remember
22 the rough--

23 MR. PALMER: We were assuming--yeah, I think I can give
24 you a seat of the pants number, actually. Don't have the tip
25 of my tongue, but we were assuming in this particular model,

1 I think, about 300,000 per canister, and we get just a little
2 less than a cubic meter per canister. So if you've got your
3 calculator there handy, you can use that.

4 (Pause.)

5 MR. PALMER: The comparison between those two numbers
6 was what you were referring to?

7 DR. DI BELLA: Actually, when I said 10 billion, I was
8 adding up the 6.46 billion and the 4.3 billion and rounding
9 it.

10 MR. PALMER: Oh. These are two separate cases.

11 DR. DI BELLA: Okay.

12 MR. PALMER: This is if you went to a glass ceramic and
13 this is if you chose a glass as the final form.

14 DR. DI BELLA: Well, then the factors are--they're still
15 roughly a factor of 20 comparing the two cases.

16 MR. PALMER: Between this case and this case.

17 DR. DI BELLA: Yeah, I guess 27A versus 10A or 27B
18 versus 10B.

19 MR. PALMER: For the high-level fraction, that's
20 correct.

21 DR. DI BELLA: Right. Okay, so you're using 300,000 per
22 canister, but my question is, is that the RW part of the
23 cost? I'm asking just what the EM part of the cost is and
24 what the relationship is between the two.

25 MR. PALMER: Well, it depends on how they work, how this

1 fee going to the repository is worked. But the fee to the
2 repository is--let's say we went with this form right here,
3 which is the one we chose. WE've got 1,000 cubic meters.

4 DR. DI BELLA: Right.

5 MR. PALMER: So 1,500 canisters at 300,000 per canister,
6 that would be the repository cost, and that's how much of
7 this total cost would be the repository part, related
8 directly to the fee going to the repository.

9 DR. DI BELLA: I see. Okay. So I can take--

10 MR. PALMER: All the other costs would be incurred here.

11 DR. DI BELLA: 300,000 per cubic meter is--

12 MR. PALMER: 300,000 per canister.

13 DR. DI BELLA: Which is--

14 MR. PALMER: A canister holds about 5/8 of a cubic
15 meter.

16 DR. DI BELLA: Okay, thanks.

17 MR. PALMER: And all the rest of the costs that are
18 there in that 2.3 billion would be EM costs here on site.

19 DR. DI BELLA: Okay.

20 DR. LANGMUIR: Other questions?

21 (No response.)

22 DR. LANGMUIR: We're ahead of schedule here, but we've
23 sort of decided to stay that way and let everybody get home
24 early today. Why don't we take our fifteen-minute break. My
25 watch, we may not agree with anyone else's, say 2:35, so by

1 my watch, in fifteen minutes we'll reconvene and continue.

2 (Whereupon a break was taken.)

3 DR. LANGMUIR: Our next presentation is by Ken Henry.
4 His topic is Greater-than-Class C Waste Management Program.

5 MR. HENRY: As indicated, my name is Ken Henry. I work
6 for Lockheed Martin Idaho Technologies here at the Idaho
7 National Engineering Laboratory. My topic this afternoon is
8 Greater-than-Class C radioactive waste management.

9 I think it's important to start out by changing our
10 perspective somewhat. First of all, Greater-than-Class C
11 radioactive waste is low-level waste as opposed to spent fuel
12 or high-level waste. Secondly, Greater-than-Class C waste is
13 not generated by the Department of Energy, it's commercially
14 generated low-level waste. And lastly, there currently is no
15 Greater-than-Class C low-level waste at the Idaho National
16 Engineering Laboratory, or at any other DOE site, for that
17 matter. Later on in this presentation you will see the
18 acronym GTCC used extensively, and that stands for Greater-
19 than-Class C radioactive waste.

20 Let me start out by addressing the statutory
21 requirements for Greater-than-Class C low-level waste
22 disposal. They're contained in the Low-Level Radioactive
23 Waste Policy Amendments Act of 1985, which is Public Law 99-
24 240. The two major requirements identified here are that,
25 first of all, the federal government, that is the Department

1 of Energy, shall be responsible for disposal of Greater-than-
2 Class C waste, and also that Greater-than-Class C low-level
3 waste shall be disposed of in a facility licensed by the
4 Nuclear Regulatory Commission. There is another requirement
5 that we might talk more about later, and that is that the
6 Department of Energy shall also identify options for
7 recovering the costs of disposal from the waste generators.

8 The question might come up why is someone from the
9 Idaho National Engineering Laboratory talking about
10 commercially generated low-level waste? Going back in
11 history a few years, an earlier version of the Low-Level
12 Waste Policy Act gave DOE responsibility for assisting states
13 in compact regions in managing and disposing of their low-
14 level waste having lower activity than Greater-than-Class C
15 waste. The states in compacts have that responsibility. The
16 Department of Energy selected the Idaho National Engineering
17 Laboratory as the support field office to perform that
18 function. Then when the Amendments Act in 1985 came into
19 being, it established DOE responsibility for Greater-than-
20 Class C low-level waste disposal, and for consistency we put
21 that program in the same place.

22 So here at the INEL we have what we call the
23 National Low-Level Waste Management Program that primarily
24 provides assistance to states and compacts in managing low-
25 level waste. And as a subset of that program, the Greater-

1 than-Class C Low-Level Waste Program assists the Department
2 of Energy in technical and programmatic studies related to
3 and leading to the eventual disposal of Greater-than-Class C
4 waste. Over the last several years, the Greater-than-Class C
5 Waste Management Program has developed a considerable amount
6 of technical information and we've evaluated programmatic
7 options that are pertinent to developing and implementing a
8 strategy for this particular waste type. First of all, we
9 have expended considerable effort in characterizing and
10 projecting the future quantities and characteristics of
11 Greater-than-Class C waste, and later in this presentation
12 I'll be discussing that in considerably more detail.

13 We have also evaluated the technical feasibility
14 and the economic impacts of alternative disposal options.
15 These disposal options ranged from shallow land burial to
16 intermediate depth disposal all the way up to deep geologic
17 disposal. We have studied methods of waste treatment prior
18 to disposal and the suitability of existing facilities to
19 perform that treatment. We've also looked at the probable
20 waste packaging and transportation methods to the disposal
21 site, and we've also considered pre-disposal storage methods
22 and facilities for conducting that storage.

23 Now, I might mention that first of all, in the
24 Amendments Act, the Department of Energy was made responsible
25 only for disposal. Storage was not mentioned. And in fact

1 with regard to disposal, there was no prescribed disposal
2 method or schedule. However, since the eventual disposal may
3 take a long time frame to establish, the DOE has felt that
4 they had at least implicit authorization to conduct a limited
5 amount of storage of Greater-than-Class C low-level waste,
6 particularly in circumstances where there may be a potential
7 threat to public health and safety by leaving the material in
8 the private sector.

9 Now, to go back and fine-tune a little more the
10 definition of Greater-than-Class C Low-Level Waste that I
11 started out with, first of all, it's a waste that is
12 generated by licensees of the Nuclear Regulatory Commission
13 or Agreement States. Thus, it's commercially generated as
14 opposed to DOE generated. Secondly, it has concentrations of
15 long-lived and/or short-lived radionuclides that exceed the
16 limits for Class C waste presented in 10 CFR 61.

17 For those of you that may not be familiar with 10
18 CFR 61, that's entitled "Licensing Requirements for Land
19 Disposal of Radioactive Waste," and it's roughly the low-
20 level waste equivalent of 10 CFR 60 for high-level waste. In
21 10 CFR 61, there are three classes of low-level waste that
22 are defined quantitatively in terms of their radionuclide
23 content. It defines Classes A, B and C, and those three
24 classes are all disposed of in commercial disposal facilities
25 such as the one located at Barnwell or at Hanford.

1 Greater-than-Class C low-level waste, of course,
2 exceeds the upper limits for Class C waste and 10 CFR 61
3 identifies that material as being generally not suitable for
4 shallow land burial. There are no upper concentration limits
5 for Greater-than-Class C low-level waste except that by
6 definition it's neither spent fuel nor high-level waste.

7 I mentioned that the NRC has declared it's
8 generally not suitable for shallow land burial. In a 1989
9 revision of 10 CFR 61, they went a little bit further and
10 they stated that Greater-than-Class C low-level waste must be
11 disposed of in a geologic repository under Part 60 unless
12 other disposal options are proposed and approved by the NRC
13 under Part 61 licensing. So basically they've expressed at
14 least the acceptability of disposing of Greater-than-Class C
15 waste in a repository, but they have left options open for
16 DOE to choose some other method if they wish.

17 This slide gives a few examples of what's included
18 in the Greater-than-Class C low-level waste category. And,
19 by the way, our waste characterization and projections data
20 is organized consistent with this slide in that we've
21 categorized the material into Nuclear Utility Generated,
22 Sealed Sources, and Other Generators.

23 The Nuclear Utility Generated material largely
24 consists of activated metals such as the wastes from
25 dismantling core shrouds and upper and lower core support

1 plates at the time of decommissioning. It also includes
2 operations-related wastes such as filters and exchange media,
3 what have you.

4 The Sealed Sources category, underneath the heading
5 here are indicated some of the normal uses of sealed sources.
6 They're used for irradiation, numerous instrumentation
7 applications, and for oil well logging. For those of you
8 that may not be familiar with the sealed sources, they're
9 typically quite small, perhaps about the size of the end of
10 your finger. The radioactive source is encapsulated within
11 either a single or a double layer of stainless steel and the
12 sources capsule is contained within whatever device is
13 appropriate for its intended application.

14 The Other Generators category, what's listed here
15 is some of the potential generators: users of carbon-14,
16 research labs that use irradiation, and manufacturers of
17 sealed sources. And this Other Generator category is really
18 a catch-all for everything that isn't generated by nuclear
19 utilities and isn't a sealed source.

20 The projections data that I'll be presenting to you
21 in a moment here is based on extensive study over the last
22 several years. Our initial report on this subject was
23 published in August of 1991, and end of Fiscal 1994, in
24 September, we issued a thorough update and revision of that
25 report. The report number is indicated. If anyone feels

1 they'd like a copy of that report, please feel free to
2 contact me and we will mail one to you. Both reports have
3 been based on extensive analytical and survey data. We've
4 tried to review all of the potential generators of Greater-
5 than-Class C low-level waste. We've utilized input from
6 expert consultants in the field, and the results of the data
7 were independently peer reviewed prior to publication.

8 This gets into the numbers. What I'm showing here
9 are base-case projections through year 2035, so we're
10 covering a little over a 40-year time span. The data are
11 organized here in terms of the nuclear utility waste, the
12 sealed sources, and the other generator wastes, the same
13 categories I talked about earlier, and totals are shown. In
14 the three columns we show first unpackaged volume in cubic
15 meters, packaged volume in cubic meters, and radionuclide
16 activity in millions of curies.

17 One of the things I want to mention is, first of
18 all, if anyone is having trouble with cubic meters to cubic
19 foot conversions, there's roughly 35 cubic feet in a cubic
20 meter.

21 The two columns on packaged versus unpackaged
22 volumes, those numbers were obtained by first looking at the
23 unpackaged volume of the waste as generated, trying to
24 estimate for each waste type what type of dilution may occur
25 as it's being packaged for disposal and then coming up with a

1 packaged volume.

2 Now, the number I'd most like you to remember from
3 this is this total packaged volume right here of roughly
4 2,000 cubic meters. And the point of wanting you to remember
5 that number is that we view that as being quite a low number
6 in terms relative to other waste categories. For example,
7 for Classes A, B and C low-level waste, there are about
8 40,000 cubic meters per year disposed of in commercial
9 disposal sites in this country as opposed to 2,000 cubic
10 meters of Greater-than-Class C low-level waste over a 40-year
11 time span.

12 Another way to get that 2,000 cubic meters in
13 perspective is I always like to evaluate meeting rooms by
14 their capability to hold Greater-than-Class C low-level
15 waste. My rough estimates of this meeting room indicate that
16 it won't quite hold 2,000 cubic meters, but certainly with
17 another room this size it would fit quite comfortably. We
18 have no proposals yet from the Shilo Inn to do that.

19 You'll note also from the numbers that most of the
20 packaged volume, that 1,350 cubic meters, comes from nuclear
21 utilities, and of that amount, most of it is activated metals
22 that will become GTCC waste at the time of decommissioning.
23 And in the column on radionuclide activity you will note also
24 that nearly all of the activity also comes from the nuclear
25 utilities.

1 Last but not least, I wanted to say that all of the
2 Greater-than-Class C waste that's currently in the inventory,
3 which isn't very much, is being stored at the site of
4 generation.

5 In about the 1993 time frame, we were taking a look
6 at the overall progress of our technical and economic
7 evaluations and the program strategy and we felt a need to
8 reassess the program strategy because we were looking at some
9 options that could include either new facilities or perhaps
10 extensively modified facilities for either storage or
11 disposal or both. Those options could become expensive, and
12 our waste characterization and projections data were showing
13 that really the quantities of Greater-than-Class C low-level
14 waste were going to be quite low. In fact, much lower than
15 was initially envisioned at the time the Low-Level
16 Radioactive Waste Amendments Act was passed. And also our
17 technical and economic evaluations of disposal concepts
18 showed that for a low-volume waste the unit costs of disposal
19 would be quite high. And also, the storage by the Department
20 of Energy to the extent that it was provided would also be
21 quite expensive for low volumes of material.

22 So we conducted a formal program reassessment. We
23 actually conducted two program reassessments. One was done
24 by the staff here at the INEL that was involved with the
25 program. A second reassessment study was done by a

1 subcontractor that was working independently but concurrently
2 and under slightly different ground rules. The two studies
3 were allowed to proceed along parallel paths, and then at
4 their conclusion we found that the major conclusions and
5 recommendations from the reassessments were somewhat
6 different but surprisingly similar, and this slide shows kind
7 of a merging of what those recommendations were.

8 First of all, it was recommended that at least the
9 utility generated Greater-than-Class C low-level waste should
10 be co-disposed in a geologic repository. Our mind-set at the
11 time was the same repository intended for spent fuel and
12 high-level waste. Secondly, primarily for non-utility
13 generated Greater-than-Class C, if it's for some reason not
14 accepted into the repository, it could be co-disposed with
15 DOE Special Case Waste, and I think you have heard that term
16 before. I will be discussing Special Case Waste at the end
17 of this presentation because I was specifically asked to.

18 It was also recommended that a separate program be
19 initiated for the Department of Energy's responses to
20 potential public health and safety problems, most of which
21 would be related to sealed sources. The Nuclear Regulatory
22 Commission has identified that among the holders of sealed
23 sources there are some potential problems in that many of the
24 current owners are fairly small companies. They're
25 encountering some tough economic times. There's an NRC

1 concern that proper management of those sources may not be
2 carried out, and so they have asked the Department of Energy
3 to respond in a few instances, and we view that as being done
4 under a program that will become separated from the Greater-
5 than-Class C Low-Level Waste Program for a couple of reasons.
6 One is that we don't really view those sealed sources as
7 being a waste material. They retain their functionality.
8 They could be recycled and reused somewhere in the future.
9 And secondly, not all of the sealed sources that may become a
10 public health and safety threat would properly be classified
11 as Greater-than-Class C wastes.

12 Lastly, the reassessments recommended that the
13 Department of Energy provide pre-disposal storage of Greater-
14 than-Class C low-level waste, only for waste from non-utility
15 sources. It was felt that the utilities were generally
16 capable of storing their own low quantities of their own GTCC
17 wastes and that the limited acceptance for storage would be
18 primarily that it was dictated by public health and safety
19 concerns.

20 Following the two program reassessments, we then
21 decided to go out and get some further input from potential
22 stakeholders of the program and any members of the interested
23 public. We've held two of these workshops, one in the East,
24 one in the West. Both of those were held earlier this
25 winter, one in Washington, D.C., on April 11th, and the

1 second one in Portland on April 13th.

2 Numerous organizations were represented. In
3 addition to the Department of Energy, we had NRC people, EPA
4 people, quite a few nuclear utility representatives,
5 consultants, state people, general public, and last but not
6 least we had Nuclear Waste Technical Review Board
7 representation. Carl Di Bella was there.

8 This slide summarizes some of the major stakeholder
9 input that we received. First of all, most of this input
10 came from nuclear utilities. In fact, the other generator
11 categories and the sealed source users were not really
12 represented in the workshops. But there were quite a few
13 nuclear utility personnel there who did have input, and one
14 of their primary recommendations was that we manage Greater-
15 than-Class C waste with spent nuclear fuel not only for
16 disposal in the repository but also for pre-disposal storage.
17 What they were recognizing was that there was a potential
18 for some legislation that may provide some near-term storage
19 capability, and what they really want to do is they want to
20 be able to get rid of their Greater-than-Class C low-level
21 waste at the same time they get rid of their spent fuel. If
22 they get rid of the spent fuel, they don't want to keep a
23 facility open just to store a small quantity of GTCC
24 material.

25 Along that same vein, they recommended that as soon

1 as possible we should develop waste acceptance criteria to
2 assist the generators in their planning. The point there is
3 that in the case of utilities that are in a decommissioning
4 process they need to know up front what kind of waste form is
5 acceptable, what type of packaging is acceptable, because
6 after a certain point they may lose their capability to do
7 repackaging even if it were deemed necessary.

8 They encouraged that we develop a waste disposal
9 fee early to aid them in their cost estimating for their
10 decommissioning planning. And they went on to suggest that
11 that decommissioning fee should be less than that of spent
12 nuclear fuel on a volume basis. And in fact they felt that
13 if we pursue co-disposal in the repository that perhaps that
14 fee could be included within the 1 mil per kilowatt hour that
15 they now pay.

16 So as a result of the program reassessments and the
17 input we received from the stakeholder workshops, our current
18 draft Program strategy for managing Greater-than-Class C low-
19 level waste consists of five major elements.

20 The first, as already indicated, is to pursue co-
21 disposal in a geologic repository, and our preference is a
22 spent fuel and high-level waste repository. One reason for
23 that is that the utilities are already obligated to send
24 their spent fuel and perhaps some non-fuel bearing components
25 to the repository and it would be convenient for them to deal

1 with just one DOE agency. Another advantage of this option
2 is that as you recall earlier, there's a legislative
3 requirement that Greater-than-Class C be disposed of in an
4 NRC licensed facility, which the repository will be.

5 Secondly, we still have a plan to provide limited
6 DOE storage capability for Greater-than-Class C waste, and as
7 I indicated, that would be primarily for material that poses
8 a potential public health and safety threat.

9 We will be developing waste acceptance criteria
10 that's compatible with the repository's packaging and waste
11 form requirements based on the assumption that we will
12 succeed in implementing that co-disposal option.

13 We'll be developing fee determination and
14 collection methods that will cover not only the Greater-than-
15 Class C disposal operations but also storage if it is
16 provided.

17 And lastly, if there's a need identified, we would
18 further pursue the co-disposal of Greater-than-Class C waste
19 with DOE Special Case Waste, which I will talk about more in
20 a minute.

21 DR. LANGMUIR: Could you speed up just a little bit,
22 Ken, we're almost out of your time period here.

23 MR. HENRY: All right. I just have four slides left.
24 They're related to Special Case Waste. As I mentioned
25 earlier, I was asked to address Special Case Waste since it

1 is identified as one of our co-disposal options.

2 Special Case Waste, many people think of it as kind
3 of a nebulous waste category. In many cases it's not well
4 understood, even within the DOE system. This slide lists
5 some of its attributes. It's material that's owned or
6 generated by DOE. It may have originally come from--some of
7 it may have originally come from the private sector, but it
8 didn't become waste until DOE was done using it for its own
9 purposes.

10 There's a real characterization problem with the
11 Special Case Waste category because a lot of it is not well
12 categorized. In fact, if it were better categorized, it may
13 not be viewed as Special Case Waste. Instead it may satisfy
14 the requirements for some of the other waste categories. But
15 in lieu of that characterization data, it's generally
16 material that doesn't seem to fit the current disposal plans
17 for either shallow land burial as low-level waste, shipment
18 to the future Waste Isolation Pilot Plant as transuranic
19 waste, or shipment to a repository as high-level waste.

20 And Special Case Waste can include a wide variety
21 of waste forms, some of which might be similar to
22 commercially generated Greater-than-Class C waste.

23 Now, I've identified just a couple of examples of
24 Special Case Waste subcategories. I've picked those that are
25 most likely to be similar to Greater-than-Class C waste.

1 This first one is a subcategory called Special Performance
2 Assessment Required. It's SPAR waste. It exceeds the NRC's
3 limits for Class C low-level waste, so if it were
4 commercially generated, it would be Greater-than-Class C.
5 It's viewed as not being generally acceptable for shallow
6 land burial. Here at the INEL we have our latest estimate is
7 about 87 cubic meters of it, and it consists largely of test
8 reactor hardware and skeletons from fuel assembly
9 consolidation experiments.

10 Another example of another subcategory of Special
11 Case Waste is the Non-Defense Transuranic Waste. It exceeds
12 100 nanocuries per gram of transuranics. It does not satisfy
13 the current acceptance criteria for the Waste Isolation Pilot
14 Plant because they currently accept only defense waste. The
15 current INEL inventory of this material is about 30 cubic
16 meters, and quite a bit of that has been received in past
17 years from the private sector for R and D purposes or for
18 public health and safety reasons.

19 Now, I want to mention that here at the INEL at
20 least we have recently finished an integrated planning task
21 for all environmental management activities. In fact, that's
22 the subject of the next presentation. And everything I'm
23 talking about here as Special Case Waste is included in that
24 plan and a disposal plan is provided.

25 So this is my last slide. The options for future

1 treatment and disposal of Special Case Waste are, first of
2 all, after the material is better characterized and treatment
3 plans have been developed, it's quite likely that some or
4 perhaps a large part of it may become suitable for near-
5 surface disposal. Special Case Waste that's highly activated
6 or contains long-lived nuclides may be viewed as being
7 suitable for repository disposal. Here you can view that
8 word "repository" in a generic sense. It could be either the
9 WIPP facility or a Yucca Mountain type of repository. The
10 last option is in the future the Department of Energy may
11 choose to establish some type of intermediate depth disposal
12 capability for Special Case Waste, and those plans have not
13 yet been finalized.

14 That concludes my presentation. Are there any
15 questions?

16 DR. LANGMUIR: We have time for one perhaps. Bill
17 Barnard?

18 DR. BARNARD: Bill Barnard, Board staff. Ken, what's
19 the total volume of Special Case Waste that DOE now has?

20 MR. HENRY: You can find varying numbers. I might
21 mention--and I think I mentioned at our public workshops--
22 that we had conducted a study here about five years ago that
23 included not only the INEL but other DOE sites as well. We
24 came up with a nationwide total of somewhere around a million
25 cubic meters. I personally believe that number was biased

1 high. I think if we were to repeat that study we'd probably
2 come up with lower numbers even today now that we've had five
3 years of additional characterization data and disposal
4 planning.

5 I might say that of that million cubic meters,
6 roughly 80 percent of that was attributed to Hanford. And I
7 think most of that came from underground storage tank
8 materials that did not satisfy the high-level waste
9 definition and also some planned decommissioning wastes from
10 obsolete production reactors. Our last estimate of the
11 Special Case Waste inventory here at the INEL was about
12 38,000 cubic meters. And here again, the major problem is
13 characterization.

14 DR. BARNARD: What's the current estimate of the number
15 of sealed sources that we use here in the United States?

16 MR. HENRY: I'd hate to even guess. There are a lot of
17 sealed sources, thousands and thousands. There are a lot of
18 sealed source licensees, probably in the high hundreds. I'm
19 glad you asked that, because it does allow me to make a point
20 I meant to mention earlier, and that is that of the sealed
21 sources that are out there, only a small fraction of these
22 would become classified as Greater-than-Class C at the time
23 they become waste. Most of those would fall below Class C
24 limits and be eligible for commercial disposal.

25 DR. LANGMUIR: Thank you. I think we need to move on.

1 The last formal presentation of the day before our public
2 questions and comments opportunity is presented by Clark
3 Williams, and the topic is integration of environmental
4 management activities at INEL.

5 MR. WILLIAMS: Afternoon, ladies and gentlemen. I'm
6 going to brief you on some very recent activities at the
7 INEL, which stems largely from the fact that at the INEL
8 we've got 405,000 cubic meters of waste total, about 700
9 cubic meters of spent nuclear fuel, plus a whole host of
10 other materials that in a time of declining budgets and
11 increasing regulatory requirements are putting in jeopardy
12 our ability to be able to achieve final disposition of those
13 waste forms and materials in a time frame that's acceptable
14 to the stakeholders.

15 Along about--in recognition of that problem--March
16 the 1st, the president of Lockheed Martin, Mr. John Denson,
17 pulled together a team of about 65 technical and program
18 experts and charged them with finding a solution to that
19 problem, and in short doing nothing less than integrating the
20 efforts of five previous contractors prior to the time that
21 the activities were consolidated here under a single
22 contractor last October.

23 Using a conventional systems engineering approach,
24 the team achieved an integrated solution for INEL EM
25 activities and build that around a strategy of fully treating

1 all of our waste forms in order to make them most acceptable
2 to disposition at national repositories and other disposal
3 sites. The solution also was one that focused on minimizing
4 the total waste volume that was shipped to those
5 repositories. The team developed an analytical tool that
6 will live on that has the capability to evaluate the
7 different alternatives that were considered by the team, with
8 the final result that quite literally an integrated solution
9 does more and ends up costing considerably less, as we shall
10 see in a few minutes.

11 The governing criteria as put forth by our
12 president and affirmed by the manager of the laboratory, Mr.
13 John Wilcynski, was to address the budget realities while
14 meeting the environmental regulatory regulations; to achieve
15 real, measurable results in the sense that waste would be
16 made road ready, ready for disposal; that we integrate ES&H
17 risk into the evaluation of the alternatives; and that
18 stakeholder concerns be addressed, particularly those with
19 respect to the State of Idaho, that we expeditiously clean up
20 the site and that we get waste ready to move out of the state
21 of Idaho to its ultimate place of disposal.

22 This figure illustrates the approach that we took.
23 Again, by using simple fundamental systems engineering
24 principles, we were able to take what had previously been
25 addressed in what we call stove pipes of both funding and

1 contracting space, where the rule was normally to take an
2 inventory, to apply a technology to it, sometimes very
3 innovatively, to select a facility to deal with that waste
4 inventory and ultimately to move it at disposal. But with
5 very little cross-talk across programs. That's where stove
6 pipe comes from. So we took a basic systems engineering
7 approach that looked at combining waste inventories, using
8 common technologies in shared facilities, and ultimately
9 sending waste that had been treated, fully treated, to its
10 ultimate disposal site.

11 We started by considering four basic alternatives.
12 The first we called Baseline, and that's familiar to most of
13 the members of the Panel, I suspect, in the basic elements
14 that were provided as the input for the Baseline
15 Environmental Management Report, fondly known as the BEMR.
16 We used that as the baseline for measuring the effectiveness
17 of the other alternatives that the team conceived and
18 analyzed.

19 The second alternative we called Full Treatment.
20 The theme was maximizing volume reduction and stabilizing all
21 forms of waste, with the idea that it would require minimum
22 characterization and repackaging prior to shipment to its
23 ultimate site for disposal. The bet here was that the cost
24 of full treatment would be less than the cost of the
25 transportation and the characterization that would be

1 required of a non fully treated waste form prior to or
2 involved in shipping it to its ultimate disposal site.

3 The third alternative was dubbed Minimal Treatment.
4 That allowed somewhat less treatment as an alternative
5 feature and somewhat more repackaging of existing wastes
6 prior to shipment. It of course ends up relying a little bit
7 more on exemptions. For example, the no-migration
8 determination that WIPP might be required to accept TRU waste
9 that was not fully treated.

10 The final alternative was to place waste in
11 compliance storage and defer treatment and disposal into the
12 future. That's simply begging the problem in the near term
13 and putting off until later what ultimately we must come to
14 grips with anyway.

15 This looks like a busy slide, but there's a little
16 bit of insight here, so I'll spend a couple of minutes
17 talking about it. The four alternatives that I just
18 described are listed down the left-hand side. Across the top
19 are nine different scenarios which the team decided were
20 essential that the alternatives be evaluated against. Those
21 scenarios, those nine scenarios, came about because there
22 were four crucial state variables that the team determined
23 could cause major swings in the outcome of the evaluation of
24 any one of these alternatives. They were whether or not the
25 repository at WIPP was available and whether or not it opened

1 with a no-migration determination in place. The team also
2 considered that the availability of Yucca Mountain and
3 whether or not it accepted highly enriched uranium as a
4 disposal form at Yucca Mountain, the third and the fourth of
5 the crucial state variables.

6 The possible combinations of these four state
7 variables generate nine different scenarios, and those nine
8 scenarios are listed across the top of the matrix, as I said
9 a moment ago. For example, you could make the assumption
10 that WIPP opens with a no-migration determination and that
11 Yucca Mountain opens and allows HEU into the repository, and
12 that defines Scenario No. 1.

13 The numbers in the matrix are nothing more than the
14 accounting of the four alternatives and the nine possible
15 combinations, 36 different cases that we felt warranted
16 attention. The first four that we analyzed are circled. S1,
17 WIPP opening with a no-migration determination and Yucca
18 opening and permitting HEU into the national repository, were
19 selected because that is consistent with current DOE policy.

20 Final alternative, that of storage, is essentially
21 the same as saying, "There is no repository available at WIPP
22 and there is no Yucca Mountain available or other national
23 repository, and therefore you are stuck with putting it in
24 storage here and leaving it at the INEL."

25 I might note, too, that the Full Treatment

1 Alternative, if you fully treat all your waste, makes
2 equivalent Cases No. 2 and 14, because under that fourth
3 scenario, if you treat fully waste, TRU waste is no longer
4 susceptible to the outcome of the no-migration determination.

5 A rather simple but rather robust computer model
6 was developed by the team. It was capable of exercising the
7 quantitative inputs and providing as outputs waste inventory
8 as a function of time, risk and cost as a function of time
9 for each one of the alternatives that was considered.

10 I'm going to take just a minute to talk a little
11 bit about what the Full Treatment Alternative was because it
12 emerged in the final analysis as the preferred alternative.
13 Full treatment to the INEL means that spent nuclear fuel,
14 rather than being placed into dry storage as was previously
15 the plan, is placed directly into MPC's until such time as
16 the national repository--and we call it Yucca Mountain; it
17 may be somewhere else--is available to receive that waste
18 form.

19 High-level waste, in both its calcine and its
20 liquid form, would be separated into its high-activity
21 fractions and low-activity fractions, with the high-activity
22 fraction being vitrified in a very small vitrification
23 facility to produce what we believe will be a glass bead form
24 ultimately, and used to fill the void fraction in the MPC's
25 in order to drive down the costs of disposal of that waste

1 form.

2 In 1995 dollars, that's a potential \$700 million
3 swing in cost savings. Now, that's not to say that there are
4 not some technical issues that have to be addressed. But in
5 the time frame between now and roughly 2005, when we think
6 that that first waste form will be ready to go to the
7 national repository, we don't think that those technical
8 issues are insurmountable.

9 Mixed low-level waste, we have a very, very small
10 inventory of NaK, a matter of a few barrels. I'm not going
11 to talk about that, that will be treated locally and disposed
12 of as low-level waste. But all the rest of our mixed low-
13 level waste forms will be treated at what we call WERF.
14 That's our local incinerator at the INEL. The WERF facility
15 will be used to incinerate that mixed low-level waste
16 inventory and operate it for three years, until such time as
17 the backlog is retired. Because WERF is so expensive to
18 operate and because there are other more economically
19 feasible alternatives over, after that three-year campaign,
20 we've hypothesized that the remaining mixed low-level waste
21 stream would be fed to a thermal destruction and
22 stabilization facility, which is represented by this dotted
23 line.

24 We have at the INEL now the Pit 9 Project, which is
25 a thermal destruction and stabilization unit that is being

1 built as a pilot to treat the waste at the RWMC, which we
2 call Pit 9 Waste. We used that facility for sizing purposes
3 and made the assumption that the technology will prove itself
4 out in order to combine these waste streams and treat them
5 under this type of a regimen. It is the intent of DOE to
6 privatize this activity, and in fact, on the basis of the
7 latest internal review board results, DOE/ID is moving ahead
8 very aggressively to privatize the activities within this
9 box. Pit 9 is a candidate. Other technologies, other
10 companies, will also have the opportunity to put forth their
11 plans in order to drive the costs of that treatment strategy
12 down to the lowest possible.

13 Low-level waste, quite frankly, is treated at this
14 particular time much more inexpensively in a commercial
15 treatment facility. We are currently using the SEG facility
16 at Oak Ridge, and would anticipate that we would continue to
17 do so, with some of that waste being used during the three-
18 year campaign of the WERF facility as filler for those times
19 when the facility is not being optimized by the treatment of
20 mixed low-level waste.

21 This is a histogram of the costs associated with
22 the Full Treatment Alternative and the other three
23 alternatives that we took a look at. By integrating waste
24 streams and using common facilities and multi-purpose
25 facilities and a privatization strategy, the Full Treatment

1 Alternative comes out far ahead of either of the two other
2 alternatives which were--three alternatives which were
3 considered.

4 I might point out that by the year 2030 we are
5 essentially done at the INEL with fully treating our waste
6 streams and fully dispositioning those waste streams to their
7 ultimate disposition site. There is some remaining
8 infrastructure and D & D and transition and some minor
9 treatment that remains after the year 2030, but within 35
10 years that portion of the INEL's mission is done. We can go
11 on and do other things.

12 Minimal treatment, storage, and baseline all have
13 significant legacy costs, and notice that this is in
14 millions. That's a \$40 billion top out for the baseline, and
15 that's a lot of money. The strategy of get it done and get
16 it done now, at least in 1995 constant dollars, makes a lot
17 of sense.

18 What happens if you do a present value calculation
19 on the outcomes? Full Treatment still wins, but if you use
20 the assumptions and the OMB guidance circular that was in
21 place at the beginning of the year when we did the analysis,
22 which if I remember correctly was based on a 3-percent
23 escalation and a 2.8-percent real growth in the economy above
24 that, so you discount it 5 percent, and Full Treatment still
25 ends up being the winner.

1 DR. LANGMUIR: Clark, if you'd try and wrap up in a
2 couple of minutes.

3 (Pause.)

4 MR. WILLIAMS: I'm going to jump ahead a couple of
5 slides. This is the actual cost profile of the Baseline
6 Environmental Report against the full Treatment Alternative
7 and against the current EM projected funding capabilities.
8 Over the next 35 years, integration gets you a \$7 billion
9 savings over what was originally hypothesized in a non-
10 integrated solution.

11 This is our favorite chart of all. We call this
12 our Idaho chart. This shows the disposition of waste leaving
13 the State of Idaho over the next 35 years. The area in the
14 light purple is essentially the environmental restoration
15 wastes that we have here at the INEL. The darker purple is
16 all of the other waste streams and the spent nuclear fuel.
17 You can see that we're essentially done by the year 2020.
18 There are still some spent fuel tailings and some ledge
19 storage and some other miscellaneous items which take you out
20 through the year 2050.

21 I'm not going to talk about this because I'm out of
22 time, except to say that we did a rather innovative thing in
23 risk space. Rather than following the conventional,
24 tradition, absolute risk calculation regimen, which was quite
25 simply impossible, for the 132 waste streams and the several

1 thousand transitioned and waste states that we considered
2 during the analysis, our risk experts came up with a rather
3 innovative, relative risk, which we used to gauge the
4 outcomes of the different alternatives that we analyzed. The
5 insight primarily to be gained is that each one of these
6 breaks in the curves represents reduction in risk, either as
7 a direct result of treatment or as a direct result of getting
8 waste to its ultimate repository.

9 In summary, we're pretty excited about what we've
10 been able to do in a very short period of time. Full
11 Treatment eliminates the funding peaks. It levelizes
12 spending. It saves \$7 billion over 35 years, compared to the
13 Baseline Environmental Report, and it achieves additional--
14 has the potential to achieve additional cost savings if
15 regional or complex wide streams are integrated as well. If
16 you consider that what we did at the INEL is a
17 suboptimization, think what you can do if you do it on a
18 complex wide basis.

19 We demonstrated measurable results. We got waste
20 ready to leave the State of Idaho, satisfying both the WIPP
21 and the Yucca Mountain windows. Extends repository operating
22 life through volume reduction. WIPP is very sorely pressed
23 towards the end of its life, and the question of whether or
24 not a second WIPP like repository will be required is
25 problematic, but it's an issue that will have to be

1 addressed. If you fully treat the waste, you duck that
2 problem, that issue, altogether. And a Full Treatment
3 Alternative results in the best waste form for storage,
4 irrespective of the outcome at a repository national level.

5 My final slide is risk reduction as achieved by
6 treatment, and it's achieved by disposal to deep geologic
7 repositories and of concern to us locally. Our stakeholders
8 have the benefit of having the waste moved out of Idaho and
9 having achieved measurable results.

10 Any questions, Mr. Chairman?

11 DR. LANGMUIR: Thank you, Larry. I realize that you had
12 a lot to cover, but I wondered--I didn't really understand
13 fully, because we didn't have time, I'm sure, to get into
14 what Full Treatment was comprised of. And you had an
15 overhead on it, a very detailed overhead, which could
16 probably take an hour to explain.

17 MR. WILLIAMS: That's right.

18 DR. LANGMUIR: Which is in the middle of the--could you
19 go into some of the--give us a Reader's Digest version of
20 what Full Treatment is in your view?

21 MR. WILLIAMS: The slide that I put up earlier is a
22 synopsis of Full Treatment, and it's the slide in your book
23 which precedes the detailed foldout. The reason I put the
24 detailed foldout was just to let you know that there's a
25 great level of detail in flow chart space below that which

1 you see on the overhead projection. And we'd be pleased to
2 spend any additional time that you or the other members of
3 the Board or any other members of the stakeholder community
4 would like to spend in going through that.

5 DR. LANGMUIR: I guess what I was asking for was a very
6 brief synopsis of what's in it.

7 MR. WILLIAMS: It's the expanded version of what you see
8 here on the board. We considered 132 waste streams. We've
9 got one, two, three, four, five, six, seven, eight as a
10 summary level representative of the major waste streams on
11 this board. What's in the more detailed foldout that you
12 have is the detailed disposition flow chart for each of the
13 132 major waste streams, through the facilities which will
14 accomplish treatment, storage, and ultimately disposal. The
15 items in blue are all of those facilities which would be
16 required as facilities beyond which we currently have
17 envisioned or are on the drawing books at the INEL at this
18 time. It served as the basis for the state diagram as the
19 inputs to the model for the analysis of the alternatives that
20 were done.

21 DR. LANGMUIR: Thank you. Time for one more question, I
22 think, from the Board or Board staff. Leon Reiter?

23 DR. REITER: Leon Reiter, staff. Just a clarification.
24 In your scenarios, do you assume a probability for various
25 things happening?

1 MR. WILLIAMS: We did not. This was a deterministic
2 model. Bear in mind we did this fundamental analysis in a
3 little over three weeks.

4 DR. REITER: Okay. How did you then assign weight?
5 Just equal weight in calculating the costs for all the
6 possibilities?

7 MR. WILLIAMS: We did not. The four fundamental
8 alternatives that we assumed were evaluated against the four
9 circled scenarios. The next step in the analysis will be as
10 we further refine the analysis to incorporate a probabilistic
11 capability to be able to work a scenario on line to answer
12 the "what if" questions.

13 DR. REITER: See, that's the real issue, then, because
14 supposing Yucca Mountain doesn't open. In storage, did you
15 assume that there would be a final disposal?

16 MR. WILLIAMS: Ultimately you've got to come to grips
17 with it, and weight--

18 DR. REITER: Is that part of your cost?

19 MR. WILLIAMS: It is.

20 DR. REITER: What part of the cost is it?

21 MR. WILLIAMS: It is. Let me recover that slide and
22 I'll show you.

23 (Pause.)

24 MR. WILLIAMS: Storage out through the year 2030 costs
25 this much. The simplification that we made in the model was

1 that ultimately full treatment would be required. It was
2 also the most conservative to make in cost space in terms of
3 minimizing long-run costs, so with very, very little
4 exception, we literally lifted full treatment and put it into
5 this red area that says, "Ultimately I have to treat waste in
6 order to ultimately disposition those waste streams."

7 DR. REITER: Present day dollars, then, becomes much
8 less.

9 MR. WILLIAMS: That's correct, that's correct. But that
10 was incorporated into the present value calculation that we
11 did, and that's why you see the curves come reasonably close.
12 You don't meet any of the stakeholder concerns, you don't do
13 anything, you continue to put present day dollars into
14 keeping things in the ground and surveiling and maintaining
15 without doing very much, but the present value ends up coming
16 very close.

17 DR. LANGMUIR: John Cantlon?

18 DR. CANTLON: Cantlon, Board. The stakeholder community
19 you're talking about must be the Idaho stakeholder community.
20 It surely can't include the Nevada or the New Mexico
21 stakeholder community.

22 MR. WILLIAMS: It includes--it is Idaho.

23 DR. LANGMUIR: Garry Brewer?

24 DR. BREWER: This is Brewer, the Board. The assumptions
25 you make in the net present value calculations are extremely

1 critical and they were very conservative, and the picture
2 that you get given the assumptions that you've got could
3 change radically with very reasonable assumptions about the
4 discount rates. That's something that I think you should
5 keep in mind, because the cost argument that you conclude
6 with is very, very soft.

7 MR. WILLIAMS: The next generation of the model and the
8 analysis will include those considerations as well. And our
9 ability to be able to capture those more accurately than we
10 did on the first pass through.

11 DR. BREWER: That's the most important assumption that
12 you make in the whole analysis of the discount rates that you
13 apply in the MPV.

14 DR. LANGMUIR: Further questions from the Board or Board
15 staff?

16 (No response.)

17 DR. LANGMUIR: Thank you very much, Clark.

18 MR. WILLIAMS: You're welcome.

19 DR. LANGMUIR: The program is showing at this time an
20 opportunity for people in the audience to ask questions or
21 make comments. I would ask that you come up to microphones
22 to do so, identify yourselves for the record. Do we have any
23 takers?

24 UNIDENTIFIED SPEAKER: Or givers.

25 DR. LANGMUIR: Or givers.

1 MR. MALONE: My name is Charlie Malone, and I'm with the
2 Nevada Nuclear Waste Project Office. I have a question to
3 ask Mr. Henry about the Greater-than-Class C low-level
4 radioactive waste disposal strategy. Now, I think that when
5 you presented your presentation you showed that there had
6 been two meetings, scoping meetings, I gather, and that a
7 strategy was going on. And what I'm holding here is the
8 Notice of Inquiry that was issued on March the 13th of '95
9 about that strategy and inviting people to comment on it.
10 And I wonder if you could tell us where that is and what the
11 schedule is for coming to final grips with the strategy.

12 MR. HENRY: Yes, based on our programmatic reassessments
13 of the program strategy plus the inputs received during the
14 public workshops that were held subsequent to the March 13th
15 notice that you mentioned, we are in the process of
16 finalizing our draft program strategy. Our intent is,
17 following full DOE concurrence, our intent is to prepare that
18 in the form of a report to Congress which updates them on
19 what the latest program strategy is. And since it's been
20 quite some time since the disposal requirement for Greater-
21 than-Class C low-level waste was laid upon DOE, and we feel
22 that we owe Congress an explanation of where we stand and
23 what our plans are.

24 DR. LANGMUIR: Further comments or questions from the
25 audience?

1 (No response.)

2 DR. LANGMUIR: If not, we need to take a ten-minute
3 break and then reassemble for the round table discussion.
4 Please make sure all speakers of the day are present to sit
5 at the table. It's currently--on my watch at least--4:01, so
6 let's reassemble about 4:10.

7 (Whereupon, a break was taken.)

8 DR. LANGMUIR: Okay, we'll start the round table
9 discussion. This is going to be fairly freewheeling in the
10 sense that there will be opportunity, first of all, from
11 those of us at the table to interact, but I'm going to
12 encourage people in the audience to do so as well as we
13 proceed if they have questions relevant to the issues at the
14 table here, or new issues, and we'll suggest when that's
15 appropriate, too. But I'm going to let Carl Di Bella start
16 us off.

17 DR. DI BELLA: Okay, this is Carl Di Bella, and this
18 will be sort of, I hope, an open-ended toss-up kind of
19 question. I notice a number of speakers, including our last
20 one, Clark, are very concerned about the amount of volume
21 that is taken up in a repository, and Clark went as far as
22 suggesting that maybe in the void space in the spent fuel
23 they could put in glass beads with high-level waste. And
24 actually that may have a very good synergistic effect for,
25 say, criticality. But in the final analysis, you're

1 disposing of the same radioactivity of waste in the
2 repository. I also notice several other speakers are very
3 concerned about this volume of waste. Brent was in his
4 analysis, too. And so I'd like to ask how much have you
5 looked at how important volume really is as opposed to
6 radioactivity or tons of fissile material or what have you?
7 Or do you just take that as a given from RW, so to speak, and
8 maybe isn't that a form of stove piping in itself?

9 Maybe, Steve, let me see if I can get you to start
10 out on that. Is volume the right thing to be looking at?

11 DR. LANGMUIR: Excuse me, before--let me interrupt for a
12 second. I forgot to mention that everybody needs to identify
13 themselves for the record as we proceed around the table
14 here. Go ahead, Steve.

15 MR. GOMBERG: Okay. Steve Gomberg reluctantly answering
16 this question. When we develop the requirements, we look at
17 two specific factors. We tend to talk generally about metric
18 tons heavy metal. I guess to me that's an accounting
19 measure. It allows us to compare against a 70,000 metric ton
20 trigger, it allows us as a basis for establishing fees and
21 whatnot. But I think the real issue for us is a volume
22 equivalent, and that you can equate to a number of canisters,
23 number of MPC's, if you will, of waste that we would have to
24 handle in the repository.

25 So I think for us that volume, the number of

1 canisters is one of the ultimate design considerations, and
2 then the characteristics of each canister, which would allow
3 us to determine spacing pitch between the packages,
4 consistency with the overall emplacement of other waste
5 within the repository. And those are all the kinds of
6 information that we will be pursuing over the next several
7 years to ultimately integrate the acceptable DOE spent fuel
8 waste forms into the program.

9 DR. DI BELLA: Do you really have a shortage of volume
10 in the repository, particularly for wastes that don't
11 generate very much heat?

12 MR. GOMBERG: Certainly for wastes that don't generate
13 much heat there. The other consideration I would assume
14 would be criticality concerns as far as the spacing between
15 canisters. Other than those two, I don't know of other
16 significant drivers that would limit us too much, but I think
17 those things, you know, we're in the advanced conceptual
18 design stage right now. We're very early. We don't have a
19 repository layout per se, we don't know how much repository
20 block will be licensable, and so a lot of these questions
21 still need to be addressed before they can be, you know,
22 formally finally answered.

23 DR. DI BELLA: Anyone else want to tackle this?

24 MR. LAIDLER: Laidler, Argonne. I think that volume is
25 really just one part of the total jigsaw puzzle. But if you

1 consider that we're striving towards some kind of
2 standardization of a repository container and the MPC is one
3 of the leading candidates right now, that has a certain
4 volume capacity to it. And if each one of those--I heard a
5 number this morning that was a little mind-boggling, \$3.5
6 million per copy. And if you try to project that to just the
7 total number of metric tons that we have to dispose of, we're
8 talking about \$35, \$40 billion just in container costs alone.
9 If you can reduce the volume that has to go in the
10 containers, you're saving money. So that's one part of the
11 picture.

12 MR. ABBOTT: Dave Abbott. Another consideration from
13 the INEL standpoint is if we're going to put our spent fuel
14 in MPC's or by other dry storage capacity, the cost is pretty
15 proportional to the volume, because the amount of fuel you
16 can put in an MPC is pretty much limited by volume. So it
17 saves us a lot of money if we can get better or more
18 volumetric efficiency out of it. And it also reduces the
19 number of shipments that would be required for us to ship
20 from here to an MRS or a repository.

21 MR. EDGERTON: Brian Edgerton with DOE-Idaho. Just to
22 amplify on the last two statements, as part of our Record of
23 Decision, we did look at some life cycle summary type cost
24 analyses for spent nuclear fuel management for DOE spent
25 fuel, and the per unit cost on MPC's was growing

1 substantially. You're looking at \$3 to \$3 1/2 million per
2 unit MPC, and that was certainly looking at some of the
3 numbers that you're talking about there, Jim Laidler, very,
4 very substantial potential cost for disposition of this
5 material in the repository as envisioned.

6 I think there's also some concerns about what the
7 forthcoming National Academy of Sciences report may say about
8 thermal loading and what the implications may be for volume
9 or space or whatever you want to call it available in the
10 first repository. No one knows what that may be at this
11 point, but there's some real serious implications in that
12 area also that could have impact on the amount of material
13 that could be disposed in this first repository.

14 Steve, you want to address that?

15 MR. GOMBERG: No, not really. No, I think those are all
16 very good points, and we do--obviously we are balancing a lot
17 of considerations to get to a final answer. And I think all
18 these things are going to be addressed through the NEPA
19 process, raised through licensing and other considerations at
20 the point that we get there, and they're all very valid
21 considerations. There's a broad range of factors that will
22 come into play.

23 DR. LANGMUIR: I'm not sure who this question is for--
24 Langmuir, Board--but we heard from Jim Laidler about this
25 technology idea of dissolution stabilization and so on,

1 separating the waste into a long-lived mix with the cesium,
2 strontium sort of materials, and then the uranium coming off
3 in a separate stream. The impression I got was that was a
4 hot product, unlike what we've been viewing as a fairly cool
5 glass product from the defense side of the ledger, and that's
6 going to presume we change the thermal loading issues at the
7 repository. Maybe not a lot, but, Steve, how are these
8 things being addressed by the DOE? Are they being considered
9 in their impact on thermal loading?

10 MR. GOMBERG: Well, right now there's several different
11 forms that would come out. One would be the uranium metal,
12 there'd be various different high-level waste forms,
13 potentially zeolitic waste form that we don't really have a
14 lot of information on. To my knowledge right now, there has
15 not been a final recommendation made, and therefore not a
16 serious consideration within our program to look at heat
17 implications or suitability of these waste forms for
18 disposal. We're waiting for a National Academy of Sciences
19 report to come out making recommendations on
20 electrometallurgical processing.

21 We basically start, though, by addressing the
22 requirements on the waste form on the overall repository
23 system that need to be met. We have not done that, to my
24 knowledge, for the electrochemical processes. We have a lot
25 of information on borosilicate glass right now. And you're

1 right, that does not appear to be a major heat driver within
2 the repository compared to spent fuel. I don't know if in
3 the long term the wastes that come out of the
4 electrometallurgical would be a major heat driver, either,
5 once again compared to spent fuel.

6 DR. LANGMUIR: One thing that's occurred to me as we've
7 listened today, those of us involved in the commercial side
8 of it, the Board is by and large looking at that. We're
9 sensitive to the fact that the DOE is a bit behind in a
10 number of aspects, particularly related to source term
11 definition when you're looking even at the source term issue.
12 And we come here today and find that there's lots of
13 potential options to putting different kinds of materials
14 together, creating different kinds of wastes from the defense
15 side, and then going to repository with them. And the sense
16 I certainly have, and I think maybe others have, that you've
17 got a way to go with evaluating the consequences of disposing
18 that kind of waste in a repository and understanding what
19 it's going to do in terms of releases or might, predicting
20 it, doing experimental work, the modeling work that would
21 give you some handle on the consequences of using that kind
22 of waste in a repository. And it strikes me that those
23 uncertainties are really going to be tough when you're
24 looking at deadlines coming back up as fast as you are in
25 terms of licensing and potential disposal.

1 Steve, any thoughts on that one? Or anyone else at
2 the table?

3 MR. LOO: Henry Loo. I would like to make comment about
4 the thermal loading as Dr. Di Bella's indicated about the
5 repository that we have looked at for the '94 PA about the
6 container corroding away fairly quickly. And one of the
7 reasons is the fact that with the DOE spent fuel and the
8 high-level waste that we have looked at in this 12 metric ton
9 hypothetical repository is fairly low as far as thermal
10 loading is concerned comparative to--you know, comparing to
11 the commercial spent fuel. And that's one of the reasons,
12 too, that is giving, I think, the higher corrosion rate. You
13 know, making the conservative assumption that you're going to
14 be running a colder repository. And, you know, you're
15 talking about only reaching a maximum temperature of 90
16 degrees centigrade and not over, you know, like what the
17 commercial folks for the RW type of thermal loading. And I
18 think by doing some other consolidation or concentrating the
19 high-level waste and putting it into a glass form or putting
20 the glass into the spent fuel should help us to bring it up
21 to closer to the commercial spent fuel. I think that might
22 in some respect would help the problem that we're seeing in
23 the FY-94 PA results. Just, you know, kind of comment.

24 DR. LANGMUIR: I think Dennis Price had a question
25 relating to criticality.

1 DR. PRICE: Yeah. Dennis Price. You indicated, Mr.
2 Loo, that you could not readily ignore the criticality
3 possibility, and you indicated also that the consequences
4 were small, relatively small you felt, but you could not
5 ignore the criticality possibility. And then you indicated
6 that the probability of that, at least as far as you had gone
7 with the fault tree at this time, was 10^{-7} . And I was
8 wondering what members of the panel might feel about what is
9 a probability of occurrence and consequences of that
10 occurrence such that that probability would not allow you to
11 readily ignore the criticality possibility. That's a double
12 negative, but I'm trying to use your phraseology in it. What
13 probability is acceptable with respect to criticality and
14 given the consequences?

15 MR. LOO: Are you asking me?

16 DR. PRICE: I'm asking everybody.

17 MR. LOO: Okay. I guess that's one of the questions
18 that we've been--we lacked an answer to ourselves, because in
19 the process of performing the evaluation, you don't have a
20 measure to compare with and say, "Yeah, I have achieved what
21 the requirement calls for." If you look at 10 CFR 60, it's
22 double contingency, you know, .95, all the good words there,
23 and they don't say, "Well, if you look at within 10,000
24 years, if your probability is below this," -7 , -8 , whatever
25 that number per year, it would be acceptable. And I don't

1 think NRC had specifically addressed an acceptable
2 probability level, and you know, I guess I don't know.
3 Anybody else have any thought on what would be an acceptable
4 one? Now, I heard some numbers brought up before was 10^{-9}
5 per year. Is that low enough? I don't know.

6 DR. PRICE: You're talking about what is reasonably
7 acceptable, and 10^{-7} is a pretty small number. And what
8 would a prudent, reasonable person find acceptable? I was
9 listening to some of the lawyers talk about DNA the other
10 night with 1 in 20 billion, and they were arguing that there
11 was a reasonable doubt. And when you think about out of 20
12 billion people finding one and then putting that one person
13 on the scene there, you know, it gets kind of very, very
14 small. And we're related somehow here. You actually came to
15 a conclusion about that. That 10^{-7} wasn't quite small
16 enough, and I'm just wondering how people feel about the
17 whole issue.

18 MR. TAYLOR: This is Larry Taylor with LITCO. That was
19 an issue that we raised over two years ago in some of our
20 initial studies, and it may not be a situation of whether or
21 if it is acceptable from a technical standpoint, but
22 politically whether you could ever justify it to the
23 stakeholders. And particularly when you recognize that most
24 of the probability risk assessment work that's gone on in
25 support of reactor systems is usually for a common cause or

1 multiple component failure, but only over a 40-year lifetime.
2 So if you take the 10^{-7} , multiply it times 6 or 7,000
3 canisters, and then again times 10,000 years, it becomes a
4 palpable number. And so indeed 10^{-7} might not be an adequate
5 number. Do we shoot for 10^{-11} , 10^{-14} ? Nobody knows right now.
6 And nobody can offer any definitions, either, on what an
7 acceptable limit is.

8 MR. CONNORS: This is Don Connors from Bettis. There
9 are a couple of pieces of guidance we might use. DOE has
10 turned out in their environmental guidance, "Here's how you
11 should write Environmental Impact Statements," some guidance
12 saying that accidents with a lower probability than 10^{-7}
13 generally need not to be considered unless they lead to very
14 large consequences. And I believe, although I can't quote
15 it, I remember an NRC NUREG regulation that basically said
16 the same thing, 10^{-7} you should not--you need not consider
17 the consequences of the accident.

18 DR. PRICE: And in this case, the consequences you
19 assessed, could you describe what you really think? I think
20 small consequences, would that be a word you'd use?

21 MR. LOO: Well, I think the basis when we made that
22 statement is that 40 CFR 191 right now states that if any
23 process or event has less than 10^{-4} probability of occurring
24 within the 10,000-year period could be eliminated from the
25 discussion here. And in doing the criticality evaluation,

1 like Larry was saying, if you take a look at the probability
2 is 10^{-7} per year, and you look at over a 10,000-year period,
3 that brings it down to within the range that we need to look
4 at. So that's the reason why we have included that moderated
5 criticality as one event that we need to consider in the
6 complex PA, and we need to consider it and evaluate further.

7 But one of the things that I really want to
8 emphasize and I indicated on my slide is that when we get the
9 evaluation, there's a lot of uncertainty, you know, involved
10 that we have pretty much consistently tried to be as
11 conservative as we can when we're doing the evaluation and
12 make sure that we're not--we can stand up and defend the
13 numbers. And I think the reason is based on the 40 CFR
14 guidance and what we have evaluated, and that's why I say
15 that we can't ignore it.

16 DR. PRICE: But are you indicating--and maybe you were
17 indicated that the 10^{-7} is actually a larger number?

18 MR. LOO: Well, I think we're saying the same thing, the
19 10^{-7} per year, but if you look at the 10 over the 10,000-year
20 time frame, then it's no longer a really small number.
21 That's what Larry was trying to--

22 DR. REITER: And that's on a per canister basis, too.

23 UNIDENTIFIED SPEAKER: Is that per canister?

24 MR. LOO: No, no. This 10^{-7} is for all the high-
25 enriched canisters that are in the repository.

1 DR. REITER: In the repository.

2 MR. LOO: Right.

3 DR. REITER: But it's on a per year basis, so how does
4 that number enlarge over a long period of time? Because who
5 cares about on a per year. You really care over the total
6 period of concern.

7 MR. LOO: That's correct. That's why I'm saying, if you
8 multiply 10^{-7} over the 10,000-year period, now you're
9 bringing that number down closer to what needs to be
10 evaluated for 40 CFR 191 guidance.

11 DR. LANGMUIR: I had a related question on criticality.

12 UNIDENTIFIED SPEAKER: There's someone behind you.

13 DR. LANGMUIR: Sorry, excuse me.

14 MR. WILSON: James Wilson from LITCO. I'm the fault
15 tree analyst that helped with this program. I think it's
16 important to be very clear on differentiating your numbers.
17 As the discussion went here, was it per year or per year per
18 canister, things like that. And also differentiating
19 probability and risk--or consequence, I should say. The
20 reason that consequence was deemed acceptable was because it
21 was based on a relative value, relative to the amount of
22 radioactivity in the repository due to the burnup that was
23 present. The additional radioactivity added by the
24 criticality, if all the casks experienced a slow-cooker type
25 of criticality would be less than one percent of that, which

1 was resultant from all the burnup that had happened in the
2 repository. So there were some bases that are not printed
3 anywhere, but we just kind of created the concept of relative
4 risk, relative to the risk that you are currently accepting
5 in the repository. How much do you add to that by the
6 criticality occurring?

7 DR. DI BELLA: Carl Di Bella again. Just to take this
8 one step further on the consequence side of the risk
9 equation, in order to get the slow-cooker kind of phenomena,
10 you have to have a wet repository, which in itself implies
11 something about thermal loading. Now, can you see that being
12 eventually a recommendation for low thermal loading from a
13 criticality point of view?

14 MR. LOO: You mean purposely?

15 DR. DI BELLA: Yes.

16 MR. LOO: Well, eventually, depending on your period of
17 interest, your spent fuel is going to cool and your waste--
18 you know, in this case it's spent fuel is going to cool down
19 enough that you're going to have the same problem no matter
20 if you do it earlier or later. Just a matter of you've got a
21 set of requirements that you need to meet, this 300-year
22 containment requirement from 300-year to 1,000-year. You've
23 got the release requirements. So it's a possibility to
24 recommend that "Go ahead and load it. We're low and we'll go
25 ahead and make--but if there's any water infiltrating into

1 the repository, get down there as soon as you could." But I
2 don't see any gain by doing that, because eventually you're
3 going to see that problem over a longer period of time. I
4 guess that's my personal perspective.

5 DR. LANGMUIR: A more general question related to the
6 criticality issue and thermal loading. We've been listening
7 from the sidelines. The Board is really not that involved in
8 criticality. We're very interested in it and concerned about
9 it, but we've heard a number of discussions from different
10 groups within DOE as to their conclusions regarding the
11 possibility of criticality. I got the sense from looking at
12 some of your overheads, Henry, that you had geochemists,
13 hydrologists--my favorite group of people, of course--along
14 with physicists and chemists and a whole host of people of
15 different disciplines looking at your assessing the risks
16 from your standpoint at INEL. That seems to be--and I laud
17 you for that--that's the way I think it should be done.

18 There have been other groups within the DOE program
19 who have not had as broad a group of individuals within their
20 analysis of criticality who've spoken up about the risks of
21 it, Bowman and Venneri obviously the key ones, and others as
22 well who've supported them elsewhere within the program. One
23 gets a sense that there's a cacophony going on here of
24 conclusions regarding it. Some well-qualified groups have
25 suggested that it's not an issue at all. You seem to be

1 saying that it could be an issue. That was the impression I
2 got from the end of your discussion. Where's it all going?
3 When is this going to come together in some sort of a
4 coherent consensus, or will there ever be one?

5 At least from the majority of DOE folks, Steve, are
6 they--what's the status of this?

7 MR. GOMBERG: Certainly within our own program we've
8 been looking at criticality. Certainly we're looking at LEU
9 fuels and MPC's and coming up with different strategies to
10 meet the NRC regulations. Criticality is one of the issues
11 that we've been trying to address as a Steering Group and
12 trying to integrate the necessary expertise and calculations
13 that we need to do to make some formal, hopefully
14 presentable, conclusions on the impacts of the various HEU
15 fuels. Certainly the waste form itself is something that we
16 need to consider also, how degraded is the waste form, how
17 degraded will it be over the time frame of interest, what are
18 the thermal strategies, what are the other pathways to get
19 water in there. And certainly it is no easy single way to
20 calculate--no one expert can sit down and calculate the
21 equation.

22 And like I said, we've been focused on LEU
23 primarily within our program and we're trying with working
24 with EM to get the expertise to get the analyses together to
25 see if it really is a problem or not. I think there are

1 different opinions as to whether it is or not. And hopefully
2 in a very short time frame we will be able to at least
3 develop a path forward or recommended strategy, look at other
4 options, or if there are engineering considerations that we
5 can use to help ensure that we keep a criticality from
6 happening, then that's the way we would prefer to go.

7 DR. LANGMUIR: Dennis Price?

8 DR. PRICE: Mr. Steve, if that number were to drop down
9 to 10^{-4} or 10^{-3} as the best guess conservative guess, how
10 would DOE feel about that number as being acceptable?

11 MR. GOMBERG: Meaning that any set of scenarios is
12 considered a likely scenario and therefore--

13 DR. PRICE: No, I think the way, for example, we started
14 with 10^{-7} --

15 MR. GOMBERG: Right.

16 DR. PRICE: --was through summation of cut sets out of
17 the fault tree, and if the fault tree is really thorough, it
18 would cover all the possibilities of occurrence and assign to
19 each cut set, that is combination of events, a probability to
20 that. And then the overall probability of all possible ways
21 in which that could happen becomes the probability of that
22 top event occurring. And I think that's where the 10^{-7} came
23 from, if I understood what was going on there correctly.

24 And if that number were to drop, as it sounds like
25 it could very well be, first of all, there were some

1 conservative assumptions given in there, and then secondly,
2 on a per year basis over a long period of time, that number
3 may very well drop. Let's say there's some validity to that
4 number and it actually ends up dropping down to the 10^{-3} .
5 You really have to wrestle with when is it too low--too large
6 a number?

7 MR. GOMBERG: I guess--I really don't do much of the
8 criticality calculations and really have a good feel for the
9 specifics as far as when it becomes too low or too high.
10 Maybe I could ask for someone in the audience who has a
11 better feeling to maybe express an opinion.

12 MR. CONNORS: This is Connors from Bettis again. The
13 probability of a criticality in a water pool, on surface, is
14 generally considered to be between 10^{-3} to 10^{-5} . So, you
15 know, you're down in a realm of the probabilities you're just
16 discussing. I think there's more than just the probability.
17 You also have to have the consequence, and risk is the
18 product of the probability times the consequence. Dr. Loo
19 has indicated that the consequence of the criticality in the
20 repository sounds like it's very small. My perception would
21 be that even if the probability is as large as 10^{-4} , if the
22 consequence is small, then the overall risk is going to turn
23 out to be acceptable.

24 DR. PRICE: Are you suggesting then that there isn't
25 really a larger probability number, that since the

1 consequence is small that we could tolerate and find
2 acceptable criticality?

3 MR. CONNORS: I think you could.

4 DR. LANGMUIR: Leon Reiter had a question.

5 DR. REITER: Leon Reiter, staff. I wanted to rephrase a
6 question that Dr. Langmuir asked that I think maybe got lost
7 a little bit, and that was to Dr. Loo.

8 MR. LOO: Well, let me correct you. You know, I'm not a
9 doctor.

10 DR. REITER: Okay. In your evaluation of performance
11 assessment and looking at criticality, have you evaluated the
12 Bowman and Venneri hypothesis and the likelihood of it being
13 correct?

14 MR. LOO: No. That's one of the things that I--this is
15 Henry Loo--that's why I was going to interject here that when
16 we started this evaluation last year as part of the
17 performance assessment, we realized that, you know, something
18 has to be done. I mean, you know, we need to look at
19 criticality. We talked about it in FY-93, we took the
20 conservative approach by limiting the amount of mass in each
21 one of the containers. When we were starting the '94 PA
22 analysis, we said, "Okay, let's sit down and look at what
23 other possible scenarios could lead to a criticality when we
24 put this material in the ground." And it was really just a
25 first attempt, and at the time we felt that considering the

1 repository condition, how much water is available, how could
2 water get into the repository, and how the container could
3 corrode and any kind of neutron absorber that is in the
4 container could get leached out or vice versa, the uranium
5 could get leached out and possibly move away from the
6 canister.

7 So please understand that this is just a first
8 attempt that we have tried to put our arm around this
9 problem, and we have not looked at what Drs. Bowman and
10 Venneri can suggest about the far-field criticality. The
11 reason at the time when we evaluated this problem, our
12 feeling is that with the DOE spent fuel, there probably is a
13 higher probability of a near-field criticality as compared to
14 a far-field criticality because of the fact that in order to
15 have a far-field criticality, you've got to actually just
16 dissolve the uranium. The uranium's got to get into the
17 water and move away from the canister, and then the
18 criticality. And then there's some assembled in a large
19 enough mass quantity to have a criticality. So, you know, we
20 didn't think that as far as to a criticality would be a lot
21 more credible in near-field. So we have not looked at what
22 Drs. Bowman and Venneri have suggested.

23 DR. REITER: Excuse me for interrupting. So you will be
24 looking at it in '95, or--

25 MR. LOO: Well, we--go ahead, finish your question.

1 DR. REITER: I'm not quite sure what the conclusion was
2 because stating that we didn't think it was very likely the
3 effort we're concentrating on the near-field is a conclusion
4 in itself. I'm not quite sure--are you going to be looking
5 at Bowman and Venneri in far-field events?

6 MR. LOO: We will be working with the RW folks to try to
7 see how to evaluate that situation right now. We are working
8 with the RW folks right now.

9 MR. GOMBERG: Steve Gomberg. We've just begun our own
10 internal evaluations of the Bowman papers, and certainly from
11 that standpoint when you can have far-field criticality it
12 becomes an issue for any type of fissile material bearing,
13 whether it's low enriched or high enriched, and I don't know
14 what we're going to find out. We've been very meticulously
15 going through all the assumptions and everything. I think as
16 Henry says, though, for near-field within a can, within a
17 package, has been the prevailing assumptions as far as a
18 criticality event occurring.

19 MR. CONNORS: Connors from Bettis again. I just saw a
20 paper, I think it was dated May 5th, by Konynenberg and a
21 group of people who basically took apart the Bowman-Venneri
22 postulations.

23 DR. PRICE: But isn't the most important issue here that
24 the risk is so low because the consequences are small, that
25 we should not--or should we?--spend a lot of money on the

1 issue of criticality?

2 MR. WILSON: Bowman's paper--Jim Wilson again from
3 LITGO--Bowman's paper presented some pretty hairy
4 consequences. He was postulating--I don't remember the exact
5 number--but 10 kg's of plutonium thrown up into the
6 atmosphere, something like that, and part of the problem has
7 been that Bowman has presented a moving target. Each time
8 his paper has been counted, he's issued a new paper that
9 frankly has been stronger, at least in my opinion, and he has
10 taken care of some of his weaknesses in his earlier papers in
11 his later issues. But again, Bowman's privilege has been the
12 ability to construct the scenario the way he wants to do it.
13 He ends up with an end result and says, "If I have this end
14 result, I'll have this thing happen." And indeed there may
15 be some truth to that.

16 I think the weakness in Bowman's paper is how do
17 you get there from here. And I think that's--in my opinion,
18 I think we can construct a strong argument for saying that's
19 a low probability that you'll get to that event.

20 DR. LANGMUIR: Langmuir. Does he still envision a
21 silica sphere in the repository fourteen feet in diameter
22 with plutonium uniformly distributed in it? A little hard
23 for a hydrologist-geochemist to envision. Is that still
24 assumed?

25 MR. WILSON: His initial--for those of you that aren't

1 too familiar with it, I'll try to summarize the initial
2 paper. The initial paper envisioned a concentration of
3 plutonium that due to some dynamics spread out quickly to
4 approach an autocatalytic situation. I think that became too
5 hard for him to support, and he left that. And he postulated
6 kind of a scenario where you gradually build up in a large
7 sphere a concentration of uranium over a transport of the
8 uranium to that--or plutonium to that position and gradually
9 build it up. The problem there is he sacrificed the large,
10 explosive quantity. In other words, I don't know if I can
11 get you to visualize this, but there's a hump. He's trying
12 to go over the hump and come backwards. And it's just as
13 hard to describe if you don't have the criticality
14 background.

15 It turns out the only way for him to get into that
16 situation is to get an environment where you don't get a
17 large explosive quantity. In other words, he can create that
18 kind of environment where you're overmoderated, you dry out,
19 you approach an autocatalytic criticality, but you don't
20 have--you can't get enough material there to make it
21 impressive. In order to get impressive, you have to get
22 incredible. And so I think those are the weaknesses there,
23 and I think we can handle these kind of things and indicate
24 that they are a low probability event, and low consequence.

25 I would like to return to a point that was made

1 earlier about the 10^{-3} , 10^{-4} . Again, you have to be careful
2 the units that you're assigning to it. When we look at the
3 regulations and it says that if you have less than 10^{-4} of
4 having a criticality in 10,000 years, you can neglect the
5 issue. In other words, that's the level of negligibility.
6 That's not the level of acceptability, that's the level of
7 negligibility. So there has been no acceptability level set,
8 but a negligibility level has been given us. And you made
9 the point that we feel we are quite conservative that turns
10 out to be and you move up to the range of 10^{-3} , 10^{-4} . We feel
11 that we're not going to do that because we are conservative.
12 We feel we have topped out or maxed out the probability and
13 said that we will not approach 10^{-3} , 10^{-4} per year because of
14 our conservatism. I think there might have been a
15 misunderstanding there of what we meant by conservative.

16 DR. PRICE: Dennis Price. I do think that terminology
17 is very important, and specifically in the area of
18 negligibility being closely related in its word structure to
19 negligent. And you know, I think we have to watch our
20 terminology.

21 DR. LANGMUIR: John Cantlon?

22 DR. CANTLON: I'd like to move to a little bit less
23 esoteric dimension of this and to ask the question of you
24 engineers that have been looking at this. Particularly in
25 the rather attractive idea of mixing the waste glass with the

1 spent fuel, what's the engineering challenge of bringing that
2 about in terms of getting glass frit, moving it from the
3 sources where it comes from? What's the relative volume of
4 the glass frit you're going to have--or not frit but the
5 glass waste? What's the volume that you have to dispose of
6 in the system? How much of it is INEL responsible for? Do
7 you have to import it or do you have enough on site to handle
8 all of your spent fuel? I'm trying to visualize that
9 process, that challenge.

10 MR. PALMER: We haven't looked across the whole complex,
11 but for us here, by consequence, not by design, our projected
12 volume available in the MPC is almost exactly equal to the
13 high-level waste if we used the separations high-level, low-
14 level scenario that I described, it matches up very nicely.
15 So if you'd just look at that one chart I gave you, there was
16 about 1,000 cubic meters of high-level waste, something like
17 that. That very closely coincides with what we would have
18 available, so it makes it very attractive. Of course the
19 driver is the \$700 million savings that results from the
20 volume decrease. And what it amounts to is we then dispose
21 of our high-level waste fraction with no additional
22 transportation or volume impacts to the repository. It's a
23 freebie.

24 DR. LANGMUIR: Maybe you could suggest to DOE that just
25 10 million of that 700 million could be used to do research

1 on the consequences of mixing it.

2 MR. PALMER: And that's the question, do we want to
3 spent the money up front to determine the consequences? And
4 there are some concerns about mixing glass with the fuel in
5 terms of the silica, the frit that we have in there, and the
6 preferential dissolution of the Boron away from the frit
7 materials. And, you know, it goes back to this bomb in the
8 repository business. So there are some concerns and we would
9 have to spend some money up front to quell those concerns and
10 say, "Yes, it's okay to mix glass with the fuel."

11 Personally, I think the real issue are things like heat
12 loading and structural integrity. You know the more
13 engineering related things rather than the postulated
14 accidents. I think that's where the big challenges are.

15 As far as getting the frit and the material in it,
16 the challenge there is relatively achievable. We can do that
17 in the design of the facility fairly nicely.

18 DR. CANTLON: But again, pursuing this, looking at it
19 system wide now, you're I presume planning to bring all of
20 DOE's spent nuclear fuel here, is that correct?

21 MR. PALMER: No. Just a fraction of it. As they
22 described earlier, we can go back to what Gary and Al and
23 Brian described, but--

24 DR. CANTLON: The Hanford is going to stay at Hanford
25 and not worry about it.

1 MR. PALMER: Aluminum goes to Savannah River, we get the
2 zirconium and the cats and the dogs.

3 DR. LANGMUIR: Carl Di Bella.

4 DR. DI BELLA: Carl Di Bella. Earlier I suggested that
5 perhaps there were a few people that were skeptical about
6 metallic fuels' acceptability in the repository, and it's
7 clear there are a few people here in the room that feel that
8 some metallic fuels anyway are acceptable. I'm wondering,
9 Steve, or anyone else in the OCRWM Program that might be
10 here, what are you telling them, or what is your Steering
11 Committee saying about the acceptability of metal fuels in
12 the repository? Metallic fuels, excuse me.

13 MR. GOMBERG: Certainly if you look at the regulation on
14 its own face, the considerations as far as waste form
15 criteria go is, does it create a problem from the standpoint
16 that it would affect the overall ability of the repository to
17 perform its waste isolation function? Is it combustible,
18 pyrophoric? Those sorts of considerations we need to
19 analyze. Certainly the integrity of the cladding, the
20 integrity of the waste form and the data that we have on that
21 will help us to evaluate that.

22 I don't think that I know or can answer right now
23 whether from a licensing perspective going to the NRC with
24 certain information that we can or cannot say right now that
25 metallic uranium fuels are suitable for disposal and that

1 it's something that I think we need some additional analysis
2 on before we can say for sure. Certainly it doesn't
3 necessarily exclude it completely from the repository, but
4 there are a series of repository based calculations looking
5 at the performance of the fuel over the long term, how it
6 degrades, how the oxygen gets to the waste, and various other
7 things that we just, I don't think, have done in a detailed
8 fashion right now. So I think that's one of the key issues
9 that we need to strive for, and certainly it's one of the
10 number one issues that the Steering Group is trying to
11 address.

12 DR. DI BELLA: Carl Di Bella again. Any feeling for the
13 timing when you might have an answer on an individual kind of
14 fuel or maybe a generic answer to this question?

15 MR. GOMBERG: We've been trying to focus on N-Reactor
16 fuel as far as the Repository Task Team activities. One of
17 the things that we were trying to do in order to lay out our
18 work is to try to identify those FY-96 activities, the kind
19 of things that we need to do very near term either to
20 determine suitability of a waste form or provide guidance
21 back to EM on potential treatment options, because they may
22 not be acceptable. So I think one of the things we're trying
23 to do is assess the data that's out there, get together the
24 teams that can do the analyses, and hopefully in the FY-96
25 time frame get that work done and be in a position to make

1 recommendations on the fuel.

2 MR. LOO: This is Henry Loo. I might interject
3 something here. In the '94 PA, we looked at oxidizing all
4 the N-Reactor fuel. But not knowing how much oxygen will be
5 available, because the assumption in the PA was oxygen will
6 be always there. But in the '95 PA for the high-level waste,
7 we probably would have a better model. We have included an
8 oxygen transport model in there so it will give us a better
9 feeling on how much oxygen is available down there in the
10 repository. But when we make the assumption that the uranium
11 will be converted into oxide form, but we don't know at what
12 rate. So we took a look at the range of reaction rate.

13 We're talking about somewhere maybe between .1 of a year to
14 10 years. If the rate is such that we're talking about a 10-
15 year type time frame for all the fuel to be reacted, the
16 amount of heat generated is fairly negligible compared to
17 what you already have due to the thermal decay of spent fuel.

18 Now, if it's ending up that it's a lot faster, a
19 real fast reaction, within that .1 year time frame, then
20 we're talking about maybe we need to look at it might not be
21 acceptable. That's what we kind of noticed, you know, in our
22 '94 PA evaluation.

23 DR. LANGMUIR: More questions or discussion? Anybody in
24 the audience like to participate again?

25 (Pause.)

1 MR. MALONE: Hi, I'm Charlie Malone with the Nevada
2 Nuclear Waste Office. Now I'd like to ask Mr. Connors if he
3 could comment for a few moments on the status of the
4 agreements between Idaho and the Navy as far as the receipt
5 of more spent fuel.

6 MR. CONNORS: I guess the only thing I can say is that I
7 know that the Navy, the Department of Energy and the
8 Department of Justice are working on this from the legal
9 standpoint, and I don't think I should comment any further
10 than that.

11 DR. LANGMUIR: I think it's time perhaps to close the
12 panel, but please sit, if you would, stay where you are.
13 This is the opportunity for a briefing on tomorrow's tour by
14 Harlin Summers, if he will come forward.

15 MR. SUMMERS: Yes, good afternoon. We do have some
16 recommendations for those of you going on tour with us
17 tomorrow. First of all, we'd like to encourage you to wear
18 casual clothing, and hopefully something in maybe a jean-
19 type, something that would be made out of cotton rather than
20 some wools, some nylons and some polyesters cause some false
21 readings off our instrumentation going in and out of our
22 areas. Also, please, you may want to wear a jacket in our
23 spring weather here--excuse me, summer weather, I forgot
24 where we were.

25 Also would like to recommend good sturdy walking

1 shoes. We'll be doing quite a bit of walking, quite a bit of
2 standing looking at hardware, etc. And for--well, I guess
3 anybody, not just ladies, but no high heels, please. High
4 heels and even moderately high heels with small surface areas
5 do cause some problems again in some of our instrumentation
6 that you may have to walk over.

7 Any of you have security passes from your work
8 areas, you may bring those, those that have visible pictures
9 on them. For those of you who do not have security passes,
10 we have visitor passes that you'll wear tomorrow, so we can
11 take care of it either way.

12 Tomorrow we'll be eating at a cafeteria, and you
13 will need to buy your own lunch. Therefore, bring money for
14 that. Otherwise, the bus ride, etc., are free.

15 We do have a rather energetic schedule. To do so,
16 we're trying to leave at 7:30. And our bus location here at
17 the Shilo is just outside this door and over to the right.
18 Getting buses in and around parking lots can be rather
19 interesting for drivers, so we've kind of chosen a spot right
20 out here just to the right of this front door. You won't be
21 able to miss it, it's a fairly large yellow bus.

22 Other than that, we just invite you to come, and
23 we'll see you in the morning.

24 DR. LANGMUIR: Thank you. Let me close the meeting.
25 First of all, thank the speakers for a superb day, very

1 informative day. A lot's happened since our last meeting in
2 '92. My sense is that there's much more coordination than
3 there was between the different parts of the DOE program
4 here, and I'm optimistic we're getting somewhere. It's a
5 major effort ahead of you clearly. Maybe if there's another
6 visit we'll see even more progress, Republicans and other
7 people willing. So thank you, and we stand adjourned.

8 (Whereupon, the meeting was adjourned.)

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1

2