

UNITED STATES
NUCLEAR WASTE TECHNICAL REVIEW BOARD
SPRING FULL BOARD MEETING
OCRWM Program Planning and Integration

May 1, 1996

Austin, Texas

BOARD MEMBERS PRESENT

Dr. John E. Cantlon, Chairman, NWTRB
 Mr. John W. Arendt
 Dr. Jared L. Cohon
Dr. Edward J. Cording, Session Chair
 Dr. Donald Langmuir
 Dr. John J. McKetta
 Dr. Jeffrey J. Wong

CONSULTANTS

Dr. D. Warner North
 Dr. Dennis Price
 Dr. Robert Williams
 Dr. Richard Parizek
 Dr. Patrick Domenico
 Dr. Ellis D. Verink

SENIOR PROFESSIONAL STAFF

Dr. Sherwood Chu
 Dr. Carl Di Bella
 Dr. Daniel Fehringer
 Mr. Russell McFarland
 Dr. Daniel Metlay
 Dr. Victor Palciauskas
 Dr. Leon Reiter

NWTRB STAFF

Dr. William D. Barnard, Executive Director, NWTRB
Mr. Michael Carrol, Director of Administration
Ms. Nancy Derr, Director of Publications
Ms. Paula Alford, Director of External Affairs
Mr. Frank Randall, Assistant, External Affairs
Ms. Helen Einersen, Executive Assistant
Ms. Linda Hiatt, Management Assistant

I N D E X

	<u>PAGE NO.</u>
Reconvene	
Ed Cording, NWTRB	232
ESF Update	
Richard Craun, OCRWM	233
Science Program Update	
Dennis Williams, OCRWM	250
Program Integration	
James Carlson, OCRWM	280
Other Material that may be destined for Geologic Disposal	
Steven Gomberg, OCRWM	300
New Directions in Waste Acceptance, Storage, and Transportation	
Dwight Shelor, OCRWM	325
Wrapup	
Lake Barrett, OCRWM	343
Reconvene	
Ed Cording, NWTRB	354
Roundtable Discussion of Meeting Topics	
Moderator: Ed Cording, NWTRB	
Participants: Presenters from both days, Board members, Board staff members, Margaret Federline (NRC), Robert Williams (NWTRB consultant)	357
Adjournment	
John Cantlon, NWTRB	425

1 P R O C E E D I N G S

2 DR. CORDING: We going to start the session now. Will
3 you please be seated? Thank you very much.

4 My name is Edward Cording. I'm a member of the
5 Board, and will be chairing the session this morning. We
6 welcome you back to the second day of our session of the
7 Nuclear Waste Technical Review Board, and today we're going
8 to be seeing updates on the ESF, the exploratory studies
9 facility, the science program at Yucca Mountain Project.
10 Then we'll continue with discussions on the overall program
11 and program integration.

12 I know that the time is very short for several
13 presentations. We're going to do the best we can to try to
14 be able to glean from those presentations the things that are
15 important, and keep as close to schedule as we can.

16 We're going to conclude with a roundtable
17 discussion this afternoon, which will involve all of the
18 speakers from the two days, the Board members, consultants,
19 and staff, so that will be this afternoon.

20 We've also provided time for comments from the
21 public at the end of the day, so those who wish to make
22 comments are urged to sign the public comment register. It's
23 in the back of the room here, with our staff, Helen Einersen
24 and Linda Hiatt.

25 So, I'd like to proceed right now, then, with the

1 first presentation. Rick Craun of DOE made presentations
2 yesterday. He's going to continue to update us today, then,
3 on the progress principally in the construction at the site,
4 exploratory studies facility.

5 MR. CRAUN: I'll go ahead and get started. I've got
6 quite a bit of information here this morning, so I'll try to
7 go quickly. I'll skim through it. If I'm going too quick,
8 send me a signal and I'll slow down.

9 I'll skip the outline and go right to the ESF
10 operations status. Yesterday, we were at Station,
11 approximately, 50. We're about a thousand meters away from
12 the south turn. I'll give you some more information later on
13 in the presentation on when we expect to "hole out" the
14 machine or complete the five-mile loop.

15 Last night, the thermal test alcove was at about
16 Station 69, and on April 10th, we passed the three-mile mark
17 on the ESF.

18 I believe it was last week, we were down for a
19 week. During that period of time, we did our 1500-hour
20 inspection on the TBM. We did everything but the bull gear
21 inspection. As we got in front of the machine, we noticed
22 that the wear was a little higher than expected. That's the
23 bottom bullet here. All the other indications on the 1500-
24 hour inspection were within spec, were normal.

25 The wear plate inspection indicated a high wear,

1 primarily due to the blocky ground. We're looking, also, at
2 ways in which we can--some lessons learned.

3 The bucket pickup on the TBM is such that it has a
4 tendency to bring and pull around the material, and that has
5 a tendency to rough up the edges, has a tendency to have us
6 do a little bit of over-excavation, et cetera. That extra
7 rubble at the front of the machine is wearing the front of
8 the machine, so in a emplacement drift design, we will take
9 these lessons and pull them into the machine design that
10 would be used on the emplacement drifts. So, we are starting
11 to pick up, as we expected to, in the ESF information that'll
12 help us in the emplacement drift or the repository design.

13 We have some operational issues that I thought you
14 would be interested in. We have high silica dust and
15 Cristobalite levels in the tunnel at this point in time.
16 I'll jump to the last bullet. We have donned respirators.
17 It looks like a little filter mask, but it is classified as a
18 respirator.

19 We've done quite a bit of ventilation repair, and
20 also, some modifications. I've got some photographs of a wet
21 scrubber that we've installed. We've changed the duct work
22 as to how we ventilate the alcoves, trying to, we feel,
23 diminish the recirculation of the air in the tunnel.

24 Part of our contributing problem is that as it
25 picks up the air from the TBM and from the alcove, depending

1 upon the pressures in the duct work itself, it has a tendency
2 to recirculate it back into the tunnel itself, so we've gone
3 through quite an extensive sealing program to seal the leaks
4 on the ventilation fan line itself.

5 During that process, on one morning when we went to
6 start it up on a Monday morning, we sealed it well enough
7 that our ventilation start-up sequence had to be changed
8 because we collapsed the vent line. We went ahead, and it
9 was sucked in, is the right way to say it. We did repair
10 that. We were down for two days on that issue, and we have
11 recovered from that situation.

12 We have a series. We've assembled three teams,
13 different teams of consultants to try to look at the IH
14 issues, to look at the ventilation issues, and to look at the
15 overall how are we performing the ventilation of the tunnel.
16 We should start getting some reports from these teams around
17 the April 29th and May. Depending on which team it is, we
18 should be getting reports in that area.

19 I believe last week, Thursday or Friday, we got the
20 state permits to allow us to do a gas injection test on the
21 ventilation system, which will allow us to measure more
22 quantitatively the recirculation and the ventilation system,
23 so those tests should be underway now.

24 I wanted to share with you what we're trying to do
25 this year. We've processed a couple of changes. Originally,

1 at the beginning of FY 96, we were to proceed to Station 39 +
2 40, and then terminate operations of the machine.

3 We were able to, without increasing our budget,
4 based on efficiencies and looking carefully at the scopes of
5 the tasks of funding for '96, we were approval a CR, the top
6 CR there. It was the first one--it's got a formal number,
7 but I didn't know what it was--to extend the operation for
8 two shifts all year.

9 Right now, we're in the process, and have been
10 working on this for the last three weeks, of trying to
11 complete the second CR, which will allow us to continue three
12 shift operations. That's nearing completion. I would
13 imagine that that should be out this week or next.

14 Later on in the presentation, I'll get into some of
15 the accelerations that we're trying to, with this CR, we're
16 also trying to incorporate some extra funding or shift some
17 funding into the excavation of the alcoves on the Ghost Dance
18 1, Ghost Dance 2, and the thermal test alcove.

19 We have been able to pull back those schedules. I
20 think when I briefed you last, we were able to improve those
21 schedules from the original baseline. We've also pulled
22 another four months out of those schedules, so we are
23 continuing to improve those to allow access for the
24 scientists into those areas sooner than expected.

25 The difficulty, obviously, is trying to balance

1 having three headings going at the same time, locations of
2 construction, with a ventilation system and a Cristobalite or
3 silica issue, to also balance FY 96 funding. We're trying to
4 shift to three shift operations without asking for more money
5 from the project, from elsewhere in the project. We feel
6 very strongly that the science and the engineering activities
7 that are taking place need to go forward, and we're trying to
8 do the TBM operations based on what we were originally funded
9 at the beginning of the year.

10 I'll do this very quickly. This is one of the two
11 standard slides that I always put up. We're right about
12 Station 50 right now. We've been in Category I for the last
13 three days, and the ground, based on a discussion with a CMO
14 last night, the ground looks pretty good. Hopefully, that'll
15 continue. We've had some people indicate that between
16 Station 50 and Station 60, it may be fairly good ground, so
17 we're hoping that's the case. Our production rates will go
18 up appreciably. I'll come back to that point in just a
19 minute, the point relative to how our production rates vary
20 with the ground control that we're installing.

21 This may be a little hard to read. I wanted to
22 share with you--and I've simplified it a little bit, just so
23 that the chart wouldn't be too busy. We are forecasting a
24 hole out in the upper right-hand corner of October to
25 January, '96-'97.

1 What you see is, on the left side, the outside of
2 the loop is really what we have been--that's kind of our
3 working, planning numbers. On the inside of that is what
4 we've been able to actually accomplish.

5 We were able to actually get ahead of schedule,
6 one, by both production rate, but, secondly, by the fact that
7 we were able to shift from series activities to parallel
8 activities. We feel that a reasonable forecast is 17 to 24
9 meters a day. Twenty-four would be more indicative of more
10 of a Category I ground control that we'd be installing.
11 Seventeen would be more of a Category IV ground control that
12 we have been installing.

13 Let me take these out of sequence. I'm going to
14 jump to the next one, and then I'll come back to that. This
15 is a very busy chart, so I'm not going to explain it all to
16 you, but it's useful in getting the point across, and that
17 is, this dark line at the top and down below is the ground
18 control that we've installed in the tunnel.

19 As you can see, in the beginning, we were
20 installing predominantly ground classification, Ground Class
21 4. We have been installing some now. This stops at Station
22 44. If you were to go on out, there'd be quite a bit of
23 Category IV ground control that we're installing.

24 The upper section, the center section is Category
25 I. What we're doing is tying this chart together with the Q

1 value of the rock mass to find out how well we're doing
2 relative to our ground control that we're installing as
3 compared to the rock itself.

4 We're also tying it to production rates. What
5 we're starting to work on now is trying to look at ways in
6 which we can design our ground control system so that when I
7 go from a Category I to a Category IV, I don't cut my
8 production rates in half. Right now, I'll go from 30-ish
9 meters a day to 15-ish meters a day, so what I need to do--
10 and the purpose of the ESF, in my mind, one of the purposes--
11 is to go ahead and allow us to obtain some of the
12 construction information we need so that when we design, or
13 when we procure a machine for the repository, if we have
14 multiple ground control systems, we need to have it such that
15 if I go to a Category IV, I don't cut my production rate in
16 half. So, we're really looking now at ways in which we can
17 alter the Category IV ground control so that I can maintain
18 production rates.

19 If we can accomplish that, then the TSLC, or Total
20 System Life Cycle Cost of the repository would be greatly
21 affected. We would be able to shift from a 20 to 30 meter a
22 day, up to a 30 to 40 meter a day, and that would
23 significantly affect the repository cost estimates.

24 Some of the lessons learned, and I think there were
25 some points yesterday about how the design might evolve over

1 time, and this is maybe an example here, where we've found
2 that we really only, of the five ground controls, we really
3 only do use two, so I think as that would evolve into, then,
4 the repository design, we may have only one or two ground
5 control systems that we would incorporate into the design
6 there.

7 As we were to start in to, say, procure waste
8 packages, then that design would probably mature, also,
9 throughout the life cycle of the repository, so I would
10 imagine, with a feedback system, and a lessons learned
11 system, we would be able to do that not only from lessons
12 learned in the ESF, but also in the repository itself.

13 We've found that in switching from Category I to
14 Category IV, we lose a lot of down time on the machine, just
15 trying to empty the machine out of steel sets, and then
16 reload it with rock bolts and wire mesh, et cetera. It takes
17 a fair amount of time to do that. It's a lot of physical
18 labor to do that.

19 So, in some ways, if we can design a Category IV
20 ground control, maybe a liner system that could be installed
21 very quickly, and without impeding the operations of the
22 machine, then we can sustain actually higher production
23 rates, lower our costs in the actual construction of the
24 repository, et cetera, so we're looking at those lessons
25 learned there from the ESF, and I'm trying to stay on

1 schedule, so I'll hurry.

2 As I indicated a few minute ago, we are continuing
3 to try to improve the access time for the scientists, when
4 the scientists can gain access. Through a thermal test in
5 the Ghost Dance, it looks like I've got the thermal test data
6 up here. I haven't got the information on the Ghost Dance.
7 We've been able to pool the schedule from December to August,
8 '96. We've also been able to improve the schedule on the
9 north and south Ghost Dance Fault. That schedule is still
10 not solidified.

11 In order to accomplish that, we were looking at
12 potentially procuring a second Alpine Miner. We may not be
13 able to accomplish that due to financial constraints, so we
14 may have to do some drill and blast. Drill and blast has
15 more of an impact on the TBM operation. It's harder to get
16 the muck out. There's a lot of interface there that we're
17 having to work our way through.

18 The intent is to provide as early as possible
19 access to those major fault structures, and that's what we're
20 working on, and working very closely with Susan and Dennis to
21 balance the construction schedule with the test equipment
22 availability and the test plans.

23 The next chart is just a repeat, so I'll just show
24 it to you, and then keep going. It's got the same data. I
25 think the only maybe new data is the test start date, the

1 TSD, which is August of '97.

2 We also have a Board of Consultants for the tunnel.
3 It's got a much longer title than that, but we had our third
4 visit with them, and we have a draft report which should be
5 final in another week or two, and I just selected a few
6 issues--not all positive issues, but a few issues that they
7 mentioned in their draft report.

8 They continue to see--and, actually, our safety
9 record from a personnel perspective is good--they continue to
10 see a clear focus in the field on safety, so they speak very
11 highly of that.

12 Cost effectiveness. I put together three issues
13 there. They're just related to cost effectiveness. There
14 was a report to--and also in this report--discussion on
15 staffing levels, whether or not we had more than would be
16 expected in a commercial operation, et cetera, so there's
17 more discussion in this report on the need to continue to
18 work that issue. The M&O and the DOE are working together on
19 that issue.

20 They've noticed an improvement in communications
21 between the field and the downtown office area, design. One
22 of the things that we pointed out to them was our ability to
23 shift a design or change a design fairly quickly in the
24 field, with some very quick interface with the downtown
25 designers. So, we've improved that process. That's the

1 improved communication, et cetera. So they were thinking we
2 were heading in the right direction. We weren't yet at the
3 goal line, though.

4 We had quite a few discussions on ground control,
5 NQA-1. Is it Q? Is it non-Q? Are the ribs Q? Are the rock
6 bolts Q, et cetera. We had a lot of discussion on that. It
7 was a good, healthy discussion, as discussions go. They
8 wanted us to continue working that issue, and we are also
9 very motivated to work that issue. It has a tremendous
10 effect on the, again, the TSLC for the repository, or the
11 total cost estimates for the repository.

12 The Board has indicated in their report that from
13 an ESF, it's nearing completion, and so their ability to
14 provide input that we could implement between now and
15 bringing the machine out is becoming very limited, so they
16 put a section in there that basically indicates that their
17 ability to add more constructive data to the ESF may be
18 limited.

19 They also indicated that they thought they would be
20 able to participate effectively in some underground issues
21 for the repository design.

22 With that, I like to bring photographs. A lot of
23 people don't get to see the tunnel very often, so I do have
24 just a couple of photographs if you want to adjust the
25 lighting and see how these show up.

1 This is the thermal test alcove. I think I have
2 another one that shows, actually, the Alpine Miner in
3 operation, and, basically, the nice thing about a mechanical
4 excavation is we can put a conveyor system which will
5 actually bring the muck and put it up on the main conveyor,
6 and that way you can go ahead and bring it out of the tunnel.

7 If you do a drill and blast evolution, you either
8 have to crush the rubble and then put it on a conveyor, and
9 with our silica issue, that'll make it more difficult for us,
10 or you then have to use locomotive and trains to get it out
11 of the tunnel itself, and then we have a lot of logistics
12 issues, because we have to pull in a lot of materials to keep
13 the TBM running, so those are the types of impacts we're
14 trying to balance.

15 This is one of the modifications, or one of the
16 things we did to try to work on the ventilation system. We
17 separated up to the thermal test alcove. We've separated all
18 of those alcoves, since there is no construction in those
19 alcoves, we've separated them from the main fan line, so
20 instead of having the main fan line remove or pull air out of
21 those alcoves, basically, what we're doing now is, with a
22 little fan, we're blowing the alcove air into the main tunnel
23 itself, and then having the main ventilation system pull it
24 all the way down to the TBM and exhaust it. If it's clean
25 air, it's not a problem. That will allow us to put more air

1 ventilation on the TBM to try to get a better air flow down
2 there.

3 We also are trying to improve the air flow at the
4 thermal test alcove, so we've installed a fan for that
5 alcove, and then we've got some dampers that we've installed
6 recently to help balance that flow, and to try to diminish
7 the positive pressure that we've got in the fan line in that
8 area, also.

9 I'll go this one very quickly. It's just part of
10 the scrubber unit that we installed on the thermal test
11 alcove, and if these are in the right sequence--and they're
12 not--this is a photograph of the north first Ghost Dance
13 Fault access. This is where we brought the machine down. We
14 brought the Alpine Miner out of the thermal test area,
15 brought it down to here.

16 We wanted to check to make sure that the machine
17 would function properly in this ground, in case we were able
18 to procure a second Alpine Miner. We brought it down here
19 and did a little over two meters, about two and a half meters
20 on a Saturday--last Saturday, I believe it was.

21 It also help us because, as you're turning under
22 the conveyor system here and the utilities, if you're drill
23 and blasting, all of that has to be removed and has to be
24 lifted aside and protected, so, mechanical excavation, it's
25 easier for us to get in there, turn under, and then get back

1 out, and then turn the TBM back on on Monday, the following
2 Monday.

3 Just another ventilation system. This is the
4 scrubber here, and the center, the white portion, hooked up
5 to the rest of it down there.

6 This is the one I wanted to show you. We've been
7 adding a lot of dust control systems at the Alpine Miner to
8 try to improve it, and that's actually what you would see.
9 That's the fog system that we've got going down there, and
10 you can see that here's the operator of the Alpine Miner.
11 He's fairly much in a clear area. He is in a respirator,
12 because there are still high silica level and Cristobalite
13 issues, but, as you can see by this photograph, it shows
14 quite clearly that we're trying to manage our dust issue very
15 effectively, so we're keeping it in that area. We have some
16 carry over into the main tunnel, but it's not nearly as bad
17 as it has been in the past, or previous times.

18 With that, I'll end the presentation.

19 DR. CORDING: Thank you very much, Rick. We're close to
20 being on schedule because of the early start. I know you had
21 too tight a time frame here.

22 One point I thought was that, in looking at the
23 ground, at least one visit I had, and talking with some of
24 the people that are working there, I got the impression that
25 we're not running through a lot of faults in the last several

1 thousand feet. We're principally hitting some cooling
2 fractures, something like columnar joints that are kind of
3 continuous vertically, locally, but not very laterally
4 continuous, and causing kind of a very local effect around
5 the TBM, but the fact that the steel legging goes in means
6 that it takes more time to get the support up in some of
7 those areas.

8 MR. CRAUN: And even though I didn't show it in the
9 photographs, you can see that quite clearly, because, as
10 they're excavating, you can see as you're facing the end of
11 the tunnel, in the upper right-hand crown area and the lower
12 left-hand floor area, you can see a lot of overbreak,
13 overmining, et cetera.

14 DR. CORDING: Some of the other techniques you are using
15 with the mesh, seeing that those might be feasible to be used
16 throughout the section, maybe that would be one of the things
17 that might help in production. Those sorts of things, I
18 know, you're addressing.

19 Just one question, one more. Jared?

20 DR. COHON: Jared Cohon, Board.

21 Rich, you're forecasting these heater tests will
22 start early. Is the intention to end them early as well, or
23 to extend their duration?

24 MR. CRAUN: I'll leave part of that to Dennis. Some
25 schedules, the start date and the end date are tied as

1 tightly, so I'll let Dennis--do you know the answer to that,
2 Dennis? You'll talk about it in your presentation? Okay.

3 DR. CORDING: There's one other question. I'm violating
4 my own statement.

5 Just one other question, though, is that if we had
6 --the use of the road header in this rock is, you know,
7 it's hard rock for road headers, even high capacity ones, or
8 the boom-mounted cutters for the site alcoves, and that is
9 taking a very long time to make that advance around and come
10 around the corner, and if that type of equipment is used to
11 go to the Ghost Dance, that also would be a very slow
12 process, so I was just wondering how you were thinking of
13 that.

14 MR. CRAUN: Well, right now, we're doing, typically,
15 about 1.8 to 2.4-2.5 meters a day on the Alpine. One of the
16 problems we had in the beginning on the Alpine Miner, if you
17 look at from when we started the thermal test, it was an old
18 machine, so we had a lot of down time, a lot of repair work
19 that we had to put into it.

20 Of late, though, the production rate has been
21 fairly consistent. We broke down again Monday, I believe.
22 We broke the conveyor system on it. Again, I think that's
23 more age. The machine itself is, I think, capable of doing
24 the job. It's really the age of the machine that we've got
25 that's causing the problems.

1 DR. CORDING: But that sort of rate over a drift to the
2 Ghost Dance will take quite a bit of time. It is a slow
3 rate.

4 MR. CRAUN: The impact of drill and blast, though, is
5 quite significant. We're looking at, until you get far
6 enough down in the Ghost Dance areas, we're looking at a two-
7 hour evacuation period of time where we'll have to evacuate
8 the tunnel. Those two hours, as you're aware of, there are
9 TBM availability numbers and TBM utilization numbers. Right
10 now, our machine is available approximately 20-some hours a
11 day. Our utilization numbers are running around nine hours a
12 day.

13 The concern is, is does that two hours--it
14 obviously will erode both of those, but what percentage will
15 go into the nine hours? And that's what our concern.
16 That'll have a tremendous impact on the hole out date
17 projections.

18 DR. CORDING: Did you have a quick question?

19 DR. LANGMUIR: Langmuir, Board.

20 I could probably do this with a slide rule if they
21 existed anymore, but, at the end of one of your
22 illustrations, it says, "Hole out, October, '96 - January,
23 '97." Do those dates apply to the slow rates you're
24 experiencing now with the TBM?

25 MR. CRAUN: Yes. The 17 to 24 bounds where we are.

1 DR. LANGMUIR: That does bound all the progress rates
2 you've experienced?

3 MR. CRAUN: Yes. The only thing it doesn't consider
4 would be the effect of a drill and blast operation, which
5 will affect both the utilization and availability numbers.
6 We have not completed the logistics analysis of the trains in
7 the tunnel to find out whether or not we're going to have
8 more than just the drill--if we have to go with the drill and
9 blast, more than just the evacuation period. We may have a
10 haulage issue that we have to work, so, right now, those
11 numbers do not include that issue, those two issues, which
12 would have a tendency to lower those numbers and extend the
13 hole out date.

14 DR. CORDING: Okay, thanks very much, Rick.

15 Now, we're going to go to Dennis Williams, who will
16 be making the presentation on the science program, the
17 current results, and Dennis has been managing the science
18 program for DOE.

19 MR. DENNIS WILLIAMS: Lynn Hoffman's going to flip the
20 charts for me. Hopefully, we can go a little bit faster that
21 way.

22 Dennis Williams. Update on the site investigations
23 program. Basically, what we're going to run through is some
24 of the things that have been happening with us. This is a
25 little bit of an outline; ESF testing, thermal testing alcove

1 construction, a little bit on the thermal testing with some
2 predictive calculations for the heater tests, moisture
3 monitoring. We still have a surface-based program. I'll
4 talk a little about G-2 aquifer test, the ongoing tracer
5 testing in the C-Hole complex, pneumatic monitoring, and we
6 recently put SD-7 into that instrumentation program of the
7 pneumatic monitoring.

8 The geology part of the program, we're getting back
9 some real good information; the detailed geologic mapping of
10 the repository area on the surface. We went forward with
11 some south ramp geologic predictions because the TBM did not
12 stop at 39 + 40. They're rolling on, thankfully; a couple of
13 comments on the probabilistic volcanic hazard assessment and
14 how we're presenting that data to hand off to PA; a little
15 bit on Min/Pet, some geochemistry.

16 In the hydrology, some of the stuff that's coming
17 in on the apparent ages of fracture minerals, there's the
18 Chlorine 36. We'll talk about that briefly, and an update on
19 conceptual models.

20 It's a big package. It's kind of a Buscheck
21 package, and it's kind of a Wendy Dixon or rapid fire
22 presentation, so maybe we'll get through it.

23 On the alcove, you saw this from Rick. Basically,
24 he began the excavation January 19th. We're up in the 16
25 meter area, thermomechanical alcove completed April 12th.

1 We've got the thermomechanical alcove extension. This was
2 built so we could put instrumentation drillholes to go into
3 the heater, which sets in this vicinity right here. We
4 should turn that test on about August of '96, the observation
5 drift going out to Station 130 meters--I won't do 1+30--make
6 the turn for the connecting, and then back into the heated
7 drift area; again, a start date on the testing there of
8 August, '97.

9 One of the things that we were able to do at
10 construction, while they were building the extension, we were
11 actually drilling instrumentation holes coming in from this
12 side from the observation drift, so those things are starting
13 to click on the program out there.

14 Some temperature profiles, we'll real quick go to
15 the colored versions of that, the simulations from Nick
16 Francis. Temperature distributions at one year for 1 Darcy
17 and 10 Darcy bulk permeability case, heater setting in here.
18 The point of this diagram is perpendicular to the heater
19 that sets at zero, one meter here on your vertical access, a
20 meter on your horizontal access, the thermal contours of 200,
21 150, and 100° Celcius coming out from the heater right here,
22 so 200, 150, 100 out here, and this is a temperature
23 distribution prediction for one year on this particular test.
24 That's that single element or thermomechanical heater.

25 Liquid saturation distributions. The chart here

1 from zero saturation to 100 per cent saturation; again, your
2 vertical access, horizontal access based on one meter
3 increments, the heater setting right here, the dry-out zone
4 in blue, or the red as we're approaching saturation here, and
5 the ambient setting out here at 70 per cent saturation.

6 Going on with more predictions from Tom Buscheck on
7 the drift scale, I think the Board does have colored diagrams
8 in there to help understand this a little bit better. These
9 are basically time-phased, a half a year, one year, two
10 years, and four years. The red is the dry-out. The blue is
11 where we're condensing, with the heated drift setting here in
12 the center, and we do run the timing out.

13 Basically, a conductive system here. We're showing
14 more of a convective system, with the benefit of some of the
15 geology going in here from a predictive standpoint. These
16 are all based on a two-year prediction. We have high bulk
17 permeability zones here, a single fracture zone that'll be
18 intersecting the heated drift. Here we have multiple zones.
19 Again, red is the dry-out. Blue is picking up the wetter
20 than ambient condensation.

21 I'll tell you a couple interesting aspects here.
22 You do see the condensation, even at the two year, possibly
23 coming back into the drift, and if you look down here on the
24 thermal contours, you'll see this 100° dropping back into the
25 drift for both a single fracture zone and multiple fracture

1 zones.

2 ESF moisture study, something that we implemented
3 this year: Objective to determine the amount of moisture
4 removed by ventilation and muck as the TBM advances;
5 basically, moisture removal from the rock. This will provide
6 data for our thermohydrologic coupled processes model, and
7 we'll have a report due in September of '96.

8 A little bit of the preliminary results from that,
9 a scoping study in '95 showed that the ventilation air
10 relative humidity increases from the portal to the TBM. We
11 are removing quite a bit of water out of that tunnel. We've
12 got LBL in there doing humidity measurements and infrared
13 images, again, indicating the relative humidity increase on
14 the weekends and towards the TBM.

15 We do have Alcove 3, which was bulkheaded off. We
16 knew we had high humidity in there, and Alan Flint's been in
17 there doing some flux measurements, and he has about one
18 millimeter per day coming out of the columnar unit. That's
19 basically the bottom of the Tiva, and about .25 millimeters
20 per day from the vitric unit, which is the top of that PTn
21 unit, the thermomechanical unit that we talk about a lot.

22 G-2 aquifer test, pumping up on the north end of
23 the block to characterize large hydraulic gradient. We
24 anticipated a ten-day test. We ran it to a 16-day test. We
25 actually ended it on 4-27. We'll probably have about two

1 months recovery of the water-bearing zone there. Hopefully,
2 it can tell us something about the perched water.

3 Under the old program, we did have two boreholes
4 that were going in to evaluate the perched water. We're
5 trying to get by with this.

6 C-Hole complex, we're conducting hydraulic and
7 conservative tracers in that. We've completed two hydraulic
8 tests and conservative tracer tests this past year, and we're
9 getting set to start the reactive tracer tests probably--
10 well, either today, or at least sometime this week.

11 Just a little bit on what we see from that on the
12 breakthrough curve, pumped almost eight million gallons of
13 water, basically, 28 per cent of the total tracer recovered.
14 Again, this was sodium iodide, a conservative tracer, you
15 know, basically, just goes through there, does not sorb, so
16 you have the most conservative indication of what's going on
17 in the aquifer. Probably a little bit more than that tracer
18 was recovered because there was probably a component that we
19 didn't see just because of detection limits.

20 Pneumatic testing and monitoring, you've seen this
21 diagram quite a bit before. We currently have eight
22 boreholes that we're monitoring. We've got the two Nye
23 County boreholes that are being monitored. They're still
24 working for us under a grant configuration. We did get SD-7
25 put into the system. News from last time, SD-12, with the

1 permanent installation, did see the TBM 500 feet upstream
2 from SD-12. It may have seen it out at 1100 feet.

3 SD-7, we did put a temporary instrumentation in it.
4 It's called the SeaMist system. It's basically a borehole
5 liner. You can put it in and pull it out. It has monitoring
6 ports on it. We did the typical installation, where we
7 basically tried to have the top monitor in the columnar unit,
8 which basically monitors atmospheric, then you get the
9 barrier of the PTn, which sets in this vicinity right in
10 here, and then down in the middle nonlithophysal, which is
11 the proposed repository horizon.

12 A little diagram of the SeaMist. Basically, that
13 membrane that goes in the hole. You have ports for
14 extraction and pressure monitoring. The results look quite
15 similar to what we get with the permanent installation, so we
16 were able to realize some cost savings by putting this one in
17 the ground.

18 Geologic mapping. Central block geologic field
19 mapping, this is something that the USGS are doing for us.
20 We do have a pretty good map coming in on that, more precise
21 locations of geologic structures on the surface. This will
22 probably help us out on resolving the Chlorine 36 issue.
23 This good surface map, compared to the good underground maps,
24 gives us a good three-dimensional picture of what we're
25 dealing with.

1 On the south ramp, the predictive geology, do have
2 some very rough information that's gone in to the designers.
3 Again, they're kind of pushing us to the limit because of
4 the rate of advance of the TBM and changing the program on
5 us, but we're feeling the ground will probably be difficult
6 and several faults and breccia zones down on the south end,
7 but no major structures at the south portal. So, if you can
8 get to the south portal, you'll get it out okay, Rick.

9 Probabilistic volcanic hazard assessment, the final
10 report delivered to the M&O, being reviewed; a mean aggregate
11 probability of 1.5×10^{-8} , value very similar to that made by
12 project scientists.

13 This is an example of some of the data that, or the
14 style of data that will be handed off to PA. These kinds of
15 things tend to leave the dirt geologists a little bit cold,
16 but that's okay. If that's what we need, we'll get it.

17 Min/Pet, Min/Pet contributions to the near-field
18 environment, that report came in and we'll be able to use
19 this in discussing our alteration history and past mass
20 transport. One of the things I wanted to say real quickly
21 about things like this, the question was asked of Russ Dyer
22 yesterday, "How do we keep the PIs on the program, the
23 critical people on the program?"

24 Well, these programs last for a long time, and
25 you're going to have people come in and out of them. I mean,

1 they're going to go on to bigger and better things. They're
2 going to retire. You know, they might even die off, but one
3 of the ways that we keep the continuity is to keep reports
4 coming into this organization. We have to rely on the
5 reports and the data. That's one of the reasons why Susan
6 has put so much emphasis on synthesis reports, why we've put
7 emphasis on getting information into the technical database.
8 We had 350 deliverables in the scientific program in FY 95.
9 This is how we maintain that continuity, and assure that
10 government investment in this project.

11 Geochemistry. A lot of it revolves around the UZ
12 flow and transport codes, so does the FEHM code. This past
13 year, we added thermal effects to the model, the first
14 simulations of the effect of heat on neptunium transport, and
15 we did send that FEHM code up to the Canadians at AECL and
16 had them do a review of it. They thought it was a good code
17 for the intended purposes down here.

18 On the saturated zone side of that, we've completed
19 the grid construction for GEOMESH, so we can get the geology
20 into that, so consider the progress, Mike, that's been made
21 in the modeling arena.

22 Hydrology, apparent ages of fracture minerals, the
23 Chlorine 36, and maybe some update on some conceptual models
24 quickly. Again, I think we all know the purpose, to further
25 constrain the timing of percolation into the repository

1 horizon, and, of course, get this data out of the ESF. We
2 had a report in from Paces of USGS, and one of the updates on
3 that was a U-series apparent age of fracture fillings running
4 from about 60 out to 400,000 years.

5 Isotope tracers, Chlorine 36, the purpose, to
6 constrain the residence time of UZ water as a function of
7 depth and structural features, continuing to collect data
8 from the ESF. I won't go into too much on bomb pulse,
9 Chlorine 36. It is derived from the atmospheric testing of
10 nuclear weapons. We know if it's there, it had to get there
11 within the last 40 or 50 years. All this is under our study
12 plan, 8.3.1.2.2.2, which is water movement tracer tests.
13 That's what we have in place. That's what we deal with.

14 Some of the first results coming out of this from
15 the underground, we have the ESF stationary here on the lower
16 axis, and the concentrations of the Chlorine 36 here on the
17 vertical axis. You see some of the hits in the higher
18 numbers, down here around 200 meters. We have some here in
19 the 1200 meter range, 2,000 meters, 2600 meters, and 3500
20 meters.

21 If you go back and look at the details of the
22 report on that, you'll see that this corresponds pretty well
23 with the Bow Ridge Fault. This is in the imbricate fault
24 zone. This is around the Drillhole Wash area. This is near
25 the curve, and this is over close to the Sundance Fault.

1 As we looked at this information that was coming
2 in, we kind of revisited the conceptual models, and I'll move
3 on to the three model descriptions here in a minute, but
4 three possible conceptual models for how the Chlorine 36 may
5 get to repository horizon rocks, and this gives you a little
6 bit of an idea of why some people were surprised, other
7 people weren't surprised, you know, what was the
8 organization's response to this, so I'll move to that real
9 quick.

10 The top diagram up here is basically from Montazer
11 and Wilson, and you see a major fault structure that may
12 break the PTn, the infiltration comes through, it moves down
13 the fault, and then goes out either as the fault plane, or is
14 distributed in the vicinity of the fault plane as it moves
15 down through the rock mass to the potential repository
16 horizon. That's probably a pretty good picture for something
17 like the Ghost Dance Fault.

18 Of course, that's one of the reasons why we're
19 going to the Ghost Dance Fault, because many of us felt that
20 we would see this kind of a situation, so when we move into
21 the Ghost Dance Fault, we've got two alcoves planned. We'll
22 do testing. We'll see whether or not it fits that particular
23 model.

24 This particular model probably fits quite well at
25 the Bow Ridge Fault. We don't have the PTn there, but we

1 have bomb pulse going down the fault plane, no big deal, so
2 no surprise there.

3 Model B indicates some smaller fractures
4 potentially running through the PTn. We have the
5 infiltration. It has the lateral flow along the PTn, hits
6 some of these potentially smaller fractures that may be
7 throughgoing, moves on down those fracture systems lower in
8 the section. This model was developed, in part, because of
9 the bomb pulse hits that we got upstream of the Sundance
10 Fault.

11 At the Sundance Fault, you don't have Chlorine 36
12 on the fault plane, but you have it on fractures upstream of
13 that for something like 130 meters, so maybe it is more
14 indicative of this type of a conceptual model.

15 We also considered the fact that we might have some
16 irregularities on the PTn, some potential perching in some
17 small areas. That increases your matrix saturation. Maybe
18 you get a depth so high that it actually weeps through and
19 then goes through down some fractures, so these are some of
20 the concepts that we tossed out as we discussed the data
21 results coming out of the Chlorine 36 report, and the next
22 three pages are basically what I've told you in words.

23 To go to that Chlorine 36 strategy, basically, what
24 are we doing? Basically, continuing our systematic and
25 feature-based sampling in the ESF to test these conceptual

1 models. What are the biggies? The biggies are getting to
2 the Ghost Dance Fault as fast as we possibly can. That's
3 where we wanted to go a long time ago. We still want to get
4 there.

5 We don't have our samples right now. We did have
6 tests collected, but we don't have samples, analyses back
7 from the PTn area of the tunnel. The PTn will help us
8 determine which of these conceptual models is possibly the
9 best, and understand some of the processes for how this stuff
10 gets through the PTn and lower down into the repository.

11 Other isotopes to corroborate observations from
12 Chlorine 36. As we saw once before, with regard to tritium,
13 we didn't have any Chlorine 36 hits down there. You would
14 really have a pretty good feel about this if you were
15 getting, say, both Chlorine 36 and tritium at the same spot
16 at the same time, so corroborating data helps us out a lot.

17 We need to do some work on constraining the amount
18 of bomb pulse required to produce the observed ratios. This
19 is a relatively new technique. It seems like it evolves a
20 little every year, so we're continuing with that evolution,
21 and, of course, testing these possible conceptual models with
22 our UZ flow models.

23 There was one run in the report that Jim put out
24 that had a model run on it. That was basically a three-day
25 run at that particular model. There has to be a lot more

1 work done on that.

2 Conclusions. Obviously, a thermal testing alcove
3 construction continues to progress. Our constructors are
4 trying to do it faster and better, and make that thing work
5 for us so we can get the testing started. Because they get
6 done early and we start testing early doesn't mean we shut
7 things off early. We have certain durations that we want to
8 run these things. There's a lot of discussion about whether
9 or not those durations are long enough.

10 One of the things that we've tried to do is make
11 our predictions, and then periodically evaluate what we've
12 done, and determine whether or not we shut the test off, or
13 continue the test to run, and DOE is taking a very strong
14 role in making sure that we don't shut tests off early.

15 G-2 and the C-Hole testing continues, geologic
16 mapping being finalized. Again, I can't overemphasize the
17 value of this type of mapping, the tunnel mapping for
18 understanding things like Chlorine 36.

19 I was able to go into the tunnel with the
20 geologists and go to the exact place where a sample was taken
21 for Chlorine 36, and they had the fractures on the map that
22 shows where it was located.

23 One of the things that was in that report, for the
24 people who have read it, is the cooling joints, the
25 syngenetic features, those things that you commonly think are

1 strata bound. Well, how did that Chlorine 36 get to that
2 point? This has got to be a tortuous path to get there, but
3 if you've got that information, if you know where the surface
4 break is, if you know where it's at exactly in the tunnel, in
5 what fractures, that's the three-dimensional geologic
6 framework that you can figure out what's going on. You can
7 understand the processes. It's not only the data hit, but
8 it's the processes on how it got there.

9 Of course, the South Ramp geologic predictions,
10 something you have to have. The probabilistic volcanic
11 hazard assessment, and, again, getting that data in the form
12 that can be used by PA. We've had a lot of discussions, as
13 Abe has pointed out in the past. "Well, you guys don't
14 exactly know what we need." Well, we have an idea of what we
15 need from a field standpoint, but putting it in that form
16 that those guys can use readily is a very important--that's
17 where a lot of progress has been made on this program.

18 Fracture minerals, continuing to work on that;
19 again, the people that are working on that, getting it down
20 to picking off that very last surface, that youngest surface
21 off of these fracture minerals, making a lot of progress in
22 that, and the Chlorine 36 studies continue.

23 That's it.

24 DR. CORDING: Thank you very much, Dennis. I recognize
25 that you had a lot to cover in a very short time. We really

1 appreciate your efforts on that, and the information
2 presented.

3 Your approach in looking at the geologic mapping,
4 correlating that with the Chlorine 36, finding the fractures,
5 finding the faults, and then essentially fixing them by
6 locating them underground and then seeing what happens across
7 those features is such a key thing that I think that, to me,
8 that is the reason we're down there, and that is why we're
9 doing this work, to get across these major features, and I
10 think that's so important, and what you're doing there, it
11 seems that you're taking advantage of that facility to do
12 what is just essential for this program.

13 We have time for several questions. I'll start
14 with Don Langmuir.

15 DR. LANGMUIR: I probably shouldn't say this, but I'm
16 very disappointed, not in you, Dennis, but in the fact that
17 you didn't get twice as much time. We're down there to do
18 the things you're talking about getting down, and, to me,
19 this is a critical--I'm biased, obviously, but this is the
20 purpose for the ESF, and the material was so abundant, and so
21 quickly presented, that it was very tough, I think even for
22 those of us who understood most of it, to think about it
23 enough to have useful, constructive comments or questions.

24 One thing I would like to ask is, have you
25 considered CFCs as an additional tracer when you look at your

1 Chlorine 36, chloroflourocarbon data? You're going to have
2 it in stuff that's that young. It provides another insight
3 into, perhaps, the quantities of water, as well as the times.
4 These are new tracer ideas that have come out in the last
5 decade or so, actually, or less than that; very constructive.

6 MR. DENNIS WILLIAMS: I personally haven't. Those types
7 of questions, I think, are better directed to some of our PIs
8 who work on this, who have the in-depth knowledge of the
9 chemical tracers that could be used. I think if we want to
10 follow up on this, we may have a little bit of a technical
11 session, perhaps, where June Fabryka-Martin could come in and
12 address some questions like that.

13 DR. LANGMUIR: One last thing. You had simulations of
14 thermal tests. I noticed the title of the simulation was
15 thermomechanical simulation, which tells me what I was
16 arguing yesterday, that that's all you're going to learn.

17 MR. DENNIS WILLIAMS: I think the thermomechanical was
18 the first one, the one that was for the single element
19 heater, which was the thermomechanical, but the other one is
20 the drift scale, which is more of a coupled test. It's got
21 the hydrology component, and then, I think, a minor chemical
22 component on it, so we may have--but let me look at the
23 particular overhead to--we may have mis-called the drift
24 scale.

25 DR. LANGMUIR: Well, maybe you went by it so fast, I

1 assumed it applied to the next two or three.

2 MR. DENNIS WILLIAMS: Okay.

3 DR. LANGMUIR: Actually, I'm looking at Buscheck's
4 simulations here, and he's showing us what we're calling the
5 born loser problem, where you've got the heater on a
6 fracture, and he's got four fractures, or five fractures with
7 water flowing back down in the fractures.

8 MR. DENNIS WILLIAMS: Yes.

9 DR. LANGMUIR: Maybe we can talk about this later, but I
10 would assume that the intent would be not to put a waste
11 package in a place such as you've modeled, with these
12 reflection effects.

13 MR. DENNIS WILLIAMS: Well, this is a prediction for a
14 specific geologic condition. We will, hopefully, understand
15 the geologic condition that we're dealing with as we get into
16 that thermal alcove, because we will be mapping along the
17 observation drift as we get there, and then we will map in
18 detail the test bed as well.

19 I would hope, at that time--and what I would be
20 driving for is to take that actual geology, and then have Tom
21 run through a simulation based on that actual geology, which
22 will be, you know, a more pertinent prediction, and possibly
23 give us a better result, but I agree that this is probably
24 one of the worst case situations that he has modeled here,
25 but I think we have to consider a worst case situation.

1 That's in the spectrum of possibilities.

2 DR. CORDING: John Cantlon.

3 DR. CANTLON: Dennis, John Cantlon, Board.

4 A couple of questions. One, yesterday, I asked
5 some of the earlier speakers the extent to which some of the
6 investigators were actually involved in the details of the
7 synthesis, and so on. We picked up signals that some of the
8 investigators were really not very aware of the attempt at
9 synthesis, and so on.

10 Could you give us some kind of a feeling of your
11 own perception of how far down in the investigator mix this
12 move towards synthesis and coordination, integration, how
13 widely it's perceived, how well they're on board, that sort
14 of thing?

15 MR. DENNIS WILLIAMS: Well, I don't know for sure
16 whether you ever know absolutely whether someone is
17 philosophically on board with you or not, but I know that
18 both DOE and the M&O, under Tom Statton, for scientific
19 programs, has made a concerted effort to have a lot of
20 discussions with these folks.

21 I know that we've been with the lab leads on
22 several occasions, talking about our desire to synthesize
23 this program, to put it into these reports, to put it into
24 the database, to put it into the information that will last
25 forever, regardless of whether or not we have PIs, or other

1 people, you know, the long-term people on the program.

2 I know that there was some concern in the 250
3 declining case because it looked like the program was going
4 to be shut down before we got to license application.
5 Probably some of that boiled over into this.

6 We've made a lot of efforts to get information out
7 to these people that our desire is to synthesize this
8 information, to come to closure on it, to collect up the
9 data, to do something with it, but, again, you never know for
10 sure how effective all those efforts are until you starting
11 getting an actual report in hand. Those reports will be
12 coming in this year. Maybe it'll give us a first indication
13 of whether or not we're successful.

14 DR. CANTLON: Now, a related question; that is, that you
15 have groups of people who object to using the waste isolation
16 strategy as the primary synthesis. Could you illuminate a
17 little bit what the alternative would be as a means of
18 synthesis or involvement of the data sets?

19 MR. DENNIS WILLIAMS: My feel is that there's not really
20 an objection to the waste isolation strategy as being a
21 driving force for synthesis, or for how you drive the
22 program. I think most of the objections come in some of the
23 details of some of the emphasis.

24 A lot of people have a problem with relying on an
25 engineered barrier. I worked in the dam business for many,

1 many years. I realize the interrelationship between the
2 natural system and the engineered system. You have to have
3 both to make it work. That's a little bit of my perspective.

4 I'm not from that strong regulatory environment of
5 years ago where it had to be, basically, the rock mass. You
6 couldn't use the engineered barrier to accommodate a poor
7 mountain. I don't think it's a matter of accommodating a
8 poor mountain. I think it's a matter of multiple defenses,
9 multiple barriers doing the best economically to take
10 advantage of both your natural system and your engineered
11 system.

12 DR. CANTLON: Thank you.

13 DR. CORDING: Pat Domenico.

14 DR. DOMENICO: I'm looking at the tracer information on
15 the conservative tracer. Is that test still going? It
16 started February 13th. Are they still pumping, or did they
17 terminate that test?

18 MR. DENNIS WILLIAMS: No, we terminated the one on the
19 conservative test.

20 DR. DOMENICO: Did anybody say anything about the very
21 low rate of mass recovery, 28 per cent? Did that bother
22 anybody? Where did the other 72 per cent go?

23 MR. DENNIS WILLIAMS: Maybe that's dispersion.

24 DR. DOMENICO: No, dispersion doesn't destroy mass, no.

25 MR. DENNIS WILLIAMS: It went somewhere. We don't know

1 for sure where it went.

2 DR. DOMENICO: Well, see, if you try to use this to
3 prove a dilution case, which I presume that's why we'd use a
4 conservative tracer, it'd be pretty difficult to try to prove
5 dilution with a 28 per cent recovery of the total mass.

6 MR. DENNIS WILLIAMS: Let me put it a little
7 differently. I, personally, don't know where it went, but
8 the people that are working on this are trying to determine,
9 you know, what we've got down there, the results of this
10 test. We basically shut the test down here a couple weeks
11 ago. They're analyzing the data.

12 DR. DOMENICO: Oh, okay. Thank you, then.

13 DR. CORDING: Jared Cohon.

14 DR. COHON: Cohon, Board.

15 I'd like to follow up on John Cantlon's first
16 question about synthesis, and the role of science. It was I
17 who, in a burst of enthusiasm at the end of yesterday's
18 session, said how impressed I was at how DOE was getting its
19 act together, and it was very promising, I think. We saw
20 signs of pieces being pulled together, a clear strategy
21 starting to evolve.

22 One thing that's clear, however, is that the
23 success of this strategy will rest, to a very great extent,
24 on the extent to which it can be based on good science, and
25 the continuing role of scientists in the implementation of

1 the strategy.

2 I was a little bit worried by your response to Don
3 Langmuir's question about his suggestion about CFCs, and I
4 think your response was, "Well, that's better taken up with
5 the PIs," and that seems to me to be exactly counter to the
6 kind of pull together strategy that we were talking about
7 yesterday; that is, if a good idea emerges, or maybe a bad
8 idea, but a new creative idea about how to get at what is
9 viewed as a key issue--we know it to be a key issue from
10 TSPA--then, it would seem to me that the program ought to be
11 sending that down to the PIs, and there ought to be some
12 mechanism to make sure that idea is either dismissed or taken
13 up. But the days of, "Well, let's see if the PIs want to do
14 it," I think, are behind us.

15 MR. DENNIS WILLIAMS: Well, a little bit of my
16 reluctance to discuss it is basically because I'm not a
17 geochemist, and when you start talking about the details of
18 something like this, you're going to leave me in the dark
19 real, real fast, and when we get into those kind of
20 discussions, I would like to have the PI, or the
21 investigator, whoever is the knowledgeable person, possibly a
22 geochemist from my staff to discuss the details of whether or
23 not that's a valid approach.

24 But, if we determine that it's a valid approach,
25 then it's not up to the PI to say, "Hey, we're going to

1 pursue this." It's DOE that's going to give the direction to
2 pursue this, so does that explanation give you a little more
3 comfort on how we work?

4 DR. COHON: Yes.

5 MR. DENNIS WILLIAMS: Okay. Thank you.

6 DR. CORDING: Dennis, Ed Cording, Board.

7 I'm pleased to see that the humidity tests
8 controlled humidity so you can look at the flux. Do you feel
9 that you're able to get a feel for the flux in those areas
10 where you're controlling the humidity in the ESF?

11 MR. DENNIS WILLIAMS: Well, again, I go by the
12 confidence that was expressed by the work that's coming out
13 of Alan in Alcove No. 3. I mean, we knew that that alcove
14 had high humidity in it practically two days after we
15 excavated it, and that was one of the reasons for bulkheading
16 that thing off, is to preserve that moisture, and his tests
17 are being run in the actually bulkheaded-off alcove, so, you
18 know, basically, that's how the program's set up. That's
19 what we're trying to do.

20 We've also got Berkeley in there doing thermal
21 scans, I believe it is, from the portal up to the TBM to see,
22 you know, what are we doing to the humidity in that mountain,
23 or in the mountain, due to the excavation.

24 DR. CORDING: Some thermal sensing?

25 MR. DENNIS WILLIAMS: Yes.

1 DR. CORDING: For temperature differences?

2 MR. DENNIS WILLIAMS: Right.

3 DR. CORDING: It seems to me that's an area that should
4 be part of--it's really an important area, in addition to the
5 isotope studies, of trying to identify what's happening where
6 you can control humidity or can pick up what's happening in
7 the flow system there, and I was just interested, and maybe
8 we can talk in the future here about your other plans on the
9 rest of the drifts.

10 And, of course, humidity control and moisture
11 measurement in the thermal facilities is going to be very
12 important, and I think that's another topic we'd like to hear
13 more about your progress there at some point.

14 MR. DENNIS WILLIAMS: Right, and the original package on
15 the presentation had a half a dozen slides on that moisture
16 monitoring, but, again, we were trying to cover a multitude
17 of things in, originally, a 15-minute time frame. It just
18 wouldn't work, and it doesn't work well.

19 DR. CORDING: And you got five more minutes, and I gave
20 you some minute at the expense of the rest of the day, but I
21 think it's very important, and I thank you very much.

22 Are there any other Board comments?

23 DR. LANGMUIR: Dennis, I appreciate that it's all very
24 fast, the Chlorine 36 insights that you gained in the tunnel
25 recently. You proposed three possible models to explain what

1 was being observed with Chlorine 36, and my question is:

2 How could you resolve which of those three models
3 was the correct one, and if you were to, what does this do to
4 performance assessment? To what extent will this impact the,
5 perhaps the suitability of the mountain for understanding of
6 the distribution of infiltration in the mountain, if you did
7 learn which of these models was the correct one, and how are
8 you going to try to do that?

9 MR. DENNIS WILLIAMS: Okay. I'd like to bail into a
10 little bit how we're going to try to deal with that. I feel
11 that probably a critical part of that is the PTn, looking at
12 the contact of the PTn. Again, we have samples from that,
13 but we don't have those analyses back yet.

14 Furthermore, when we go into the tunnel and look
15 right below the PTn, we see some rather large structures in
16 the welded tuffs below the PTn going up, and apparently going
17 into the PTn. I think we need to look at that very closely
18 to see whether or not we've got bomb pulse coming down those
19 types of throughgoing fractures.

20 But, the basic objective is to understand the
21 processes for how this is taking place. I mean, do you have
22 --we probably have Chlorine 36 bomb pulse at the top of the
23 PTn. What's it coming through on? Is it coming through on
24 big fractures? Is it coming through on small fractures?

25 If it's coming through on large fractures, like

1 faults, what happens after it gets through the PTn? I mean,
2 is it staying on the fault plane? Well, this isn't the
3 setting that we have at the Sundance. Apparently, it didn't
4 stay on the fault plane if it came through on that particular
5 feature. We have it upstation for 130 meters.

6 If we look at the Bow Ridge Fault, and if we had,
7 say, Chlorine 36 on smaller fractures upstream of the Bow
8 Ridge Fault plane, maybe that's telling us that the Chlorine
9 36 is actually coming through the fault plane, and then going
10 down a lot of other fractures, basically, upstream in the
11 hanger wall block.

12 So, if we can get an understanding of why this
13 happens the way it does, then we can give that picture to PA,
14 and then Abe, who is standing up, appropriately, can take it
15 from there.

16 DR. LANGMUIR: Basically, rephrasing my question, how
17 are you going to find it out?

18 MR. DENNIS WILLIAMS: How are we going to find it out?

19 DR. LANGMUIR: How are you going to find out what's
20 going on? You've elaborated on my question, really, with
21 more detail.

22 MR. DENNIS WILLIAMS: Well, the way we find out most
23 things in geology. We do the mapping, we collect the
24 samples, we analyze them, we put the picture together, and
25 then we come up with an interpretation of what's going on.

1 DR. LANGMUIR: Is this planned?

2 MR. DENNIS WILLIAMS: Yes, it is. As I pointed out, I
3 mean, this was originally planned in the water tracer test
4 study plan, 8.3.1.2.2.2, and that was planned. We're
5 elaborating on it now because of what we've seen with
6 Chlorine 36.

7 Abe?

8 DR. VAN LUIK: This is Abe Van Luik, DOE.

9 I think it would be appropriate to say--and I tried
10 to say this yesterday--that we're going to do an honest
11 evaluation of this mountain, and the Chlorine 36 issue, at
12 this point, is unsettled. There are multiple conceptual
13 models being considered. We trust that the site program will
14 come up with a correct interpretation, or interpretations.
15 It may be that at different locations, different conceptual
16 models need to be invoked.

17 It complicates our lives considerably in
18 performance assessment, because we will have to do a more
19 detailed modeling of transport in the unsaturated zone than
20 perhaps we would have done had the equivalent continuum model
21 been sufficient.

22 Whether or not this is a pervasive problem, or a
23 localized problem, I think, is still to be decided, and
24 whether or not it will have performance impacts that are
25 serious is still to be decided. Performance assessment

1 can't, a priori, say this is a non-problem; however, we are
2 optimistic that what we are seeing is, one, localized, and,
3 two, represents a very small volume fraction of the total
4 water in the unsaturated zone, and if that remains the case,
5 I think it becomes a very minor problem. It just complicates
6 our modeling.

7 DR. CORDING: Okay, thank you very much.

8 Vic Palciauskas, staff.

9 DR. PALCIAUSKAS: Vic Palciauskas.

10 Most of the measurements, of course, in the ESF are
11 running parallel to the Ghost Dance Fault, and that means,
12 basically, it's very difficult to tell which of the models,
13 A, B, or C, is really operative.

14 Now, the two alcoves into the Ghost Dance Fault
15 will basically say something about whether Model A is
16 operative or not. It would seem to me that the logical thing
17 to do is go perpendicular to the ESF, perhaps westward, and
18 see whether you do find bomb pulse Chlorine 36 going away
19 from the Ghost Dance Fault. This would give you some
20 information on whether Models B or C are operative.

21 Do you agree with that?

22 MR. DENNIS WILLIAMS: I don't necessarily agree with
23 that, because as we go back to the east, where we are finding
24 bomb pulse on smaller fractures, not associated with larger
25 faults, I mean, it's there. We have the data hits right now,

1 so I'm more inclined to look towards what is above us, to
2 look towards the PTn to try to understand what's going on.

3 DR. PALCIAUSKAS: How will you get a distribution or the
4 density of locations of the bomb pulse Chlorine 36, whether
5 it's coming down in a--I guess my question, or my statement
6 is the following:

7 The model that was conceptually used was basically
8 Model A over the last year.

9 MR. DENNIS WILLIAMS: That's correct.

10 DR. PALCIAUSKAS: And now you see that it's more
11 pervasive. You have to sort of set a limit to how perverse
12 the Chlorine 36 distribution is, and the only way, it seems
13 to me, would be to go and see how it is perpendicular to the
14 Ghost Dance Fault across the block.

15 MR. DENNIS WILLIAMS: Okay. Well, as we go into--as we
16 build the alcoves into the Ghost Dance Fault, we will be
17 going perpendicular to the Ghost Dance Fault for those
18 particular intervals, so we will be looking at the rock
19 perpendicular to the Ghost Dance Fault.

20 DR. PALCIAUSKAS: Over a very short interval, though.

21 MR. DENNIS WILLIAMS: You know, a matter of a couple
22 hundred meters.

23 DR. CORDING: Thank you. We're going to need to go on.
24 Thank you very much, Dennis; appreciate it.

25 MR. DENNIS WILLIAMS: You're welcome.

1 DR. CORDING: We're going on now with James Carlson, and
2 he's the Director of the Systems Engineering Division of
3 OCRWM, and will be making his presentation on program
4 integration.

5 MR. CARLSON: I'm going to switch gears considerably
6 from the previous presentations. Mine's a very general
7 process presentation, talking about integration at the
8 program level.

9 When I started into this, I think you've heard a
10 lot of the material I'm going to cover, and I'm going to try
11 to pick up some schedule by running through fairly fast.

12 There are several points I want to start out with,
13 is when I started into this, Woody contacted me in November
14 about this presentation. I was a little bit at a loss as to
15 how to present program integration to this group, who focuses
16 primarily on the technical aspects of the program, and I
17 think Bill Barnard gave me a suggestion. He said, "Focus in
18 on the communication between the program, between the
19 projects, and how that's achieved within the bureaucracy that
20 we work in in Washington."

21 I'll also try to talk a little bit about how moving
22 into the electronic age, or the electronic communications age
23 has helped us in program integration, some of the specific
24 formal integration mechanisms, and some of the informal
25 communications that go on, and, finally, I'm going to sort of

1 repeat a little bit, or generalize on what Russ Dyer and Lake
2 Barrett said about the program's gone through a lot of change
3 over the years. Right now, I think I'm the longest employee
4 in Washington with regard to the program. I've watched the
5 policy changes. I've watched the funding changes. We've
6 moved through a lot of management, a lot of organizations.

7 Lake and Russ tapped on this, but it also has
8 forced us to try to integrate more fully to keep the projects
9 moving forward, in spite and consistent with these changes.

10 I borrowed this slide from Russ Dyer yesterday,
11 just to focus in on where we sit, and we're up at that
12 program box up at the top corner, where the interfaces come
13 in, where we interface with the projects with regard to
14 ensuring consistent policy across the program.

15 We also would have a similar box, a little
16 different content inside, for the organization that Dwight
17 Shelor represents, where he talks about the waste acceptance
18 transportation and storage.

19 The program organization, which I'll get to in the
20 next slide, does a lot of interaction with the external
21 parties. The organization I'm with is in the upper left-hand
22 corner, the Office of Program Management and Integration. We
23 have four divisions. The two organizations at the bottom are
24 the business centers for the program. They're actually
25 responsible for implementing the work and implementing the

1 program.

2 One of the key activities or key things going on
3 within our office and within the entire management
4 organization up at the top is where this Congress and this
5 administration is streamlining government and trying to work
6 to reduce the overhead, so we can get more resources out to
7 folks like Dennis and the people you heard from yesterday to
8 actually implement the project, so we're doing a lot of work
9 to try to cut back the overhead of the program.

10 I'm going to walk through the integration
11 activities, primarily by discussing what each division does.
12 Before I get into that, the one that I don't have a slide on
13 is the regulatory integration group, which is a rather small
14 group that works on developing the consistent policies for
15 the program with regard to dealing with the Nuclear
16 Regulatory Commission, the EPA standard. There's a lot of
17 coordinators, a lot of senior policy involvement in those
18 areas.

19 Also, Alan Brownstein, who works with that group,
20 did participate in the broad integrative planning effort that
21 you heard about yesterday for the Yucca Mountain Project, so
22 there is integration between the headquarters organization,
23 particularly in the heavy policy areas. There is extensive
24 integration.

25 The planning division has several key functions;

1 the strategic planning, which serves to integrate the
2 program, sort of develops our overall goals. This was, I
3 think, new to the--I don't know if it was new to the program,
4 but it became much more important with this last
5 administration.

6 Hazel O'Leary is very key on strategic planning,
7 mission definition. Dr. Dreyfus, I believe, had five
8 separate strategic planning sessions where he brought his
9 senior managers in shortly after he came on board to make
10 sure everybody was, to use one of Lake's terms, singing from
11 the same song sheet; that there was program-wide agreement on
12 our missions, our goals, and I think he presented it to the
13 Board shortly after it was closed on. He presented it in
14 Congressional testimony and budget formulation.

15 The next level down is the program plan, and this
16 was, I think, the initial one was either late '94 or early
17 '95. The Board certainly had a number of briefings on the
18 program plan. This program plan, for me, was sort of a major
19 step forward in the program, because it was a long time since
20 I'd seen the cost profile and the anticipated funding brought
21 in sync with what the program can expect to accomplish, and
22 this sort of served as a multi-year guide for the program to
23 lay out what the activities were.

24 We recently have gone through the revision of this,
25 as Lake indicated. It should be out next week, and the

1 revised program plan, I think, recognizes how the environment
2 has changed from a public policy viewpoint in the
3 expectations and funding, as well as looking at it--and
4 Dwight will talk about some of the new initiatives in waste
5 acceptance and storage and transportation area, to try to
6 bring the program, again, within the expectations of the
7 external constituencies, and the anticipated funding that we
8 might see coming from the Congress, trying to keep it to meet
9 those competing needs.

10 The third plan is one that's sort of key to all the
11 managers on this program. It's the annual work plan, which
12 is developed each year, and, basically, it's the agreement
13 between the program director and the project managers on what
14 work scope will be accomplished during that year.

15 The annual work is a controlled document. I'll use
16 a lot of terms that you've heard over the last two days, so
17 I'll try to move quickly through this.

18 Another key integrating activity are the scheduled
19 meetings, planning and performance reviews. One very key
20 integrating activity is one that you folks can be very proud
21 of. Preparing for TRB meetings is a very integrating
22 experience. We put in a lot of time to make sure that things
23 fit together. We learn a lot during that process.

24 There are also staff meetings. The Director has a
25 weekly staff meeting that has, certainly, all the

1 headquarters division directors, and officer managers
2 participate, where he and the Yucca Mountain folks are tied
3 in through a speaker phone. He reports on what's going on at
4 the top levels of the agency to the staff. The division
5 directors or office directors report on issues and current
6 status of activities.

7 The annual plan review, as I mentioned earlier, the
8 annual plan is the contact between the Director's office,
9 Lake and Dan, and the individual projects, and the office
10 directors in headquarters on what they're planning to
11 accomplish during that year, the work scope. This is
12 baseline and control documents, where changes that exceed
13 certain thresholds are reviewed at the Director's level, and
14 approved. Changes at the lower levels are reviewed with the
15 project managers. Impacts are considered, and decisions made
16 on proceeding.

17 Also, we have a mid-year review, where the Director
18 again reviews how we're doing against the annual work plan,
19 particularly in the resource area, to ensure that, you know,
20 if something's come up, whether we have resources available
21 to reapply. I think Rick Craun's discussion of the TBM
22 operation is a good example of the kind of issues that do
23 come up, where there is considerable discussion of what our
24 funds profile looks like, and whether we can afford to
25 proceed with those changes, and, as he said, they're trying

1 to work it at the project level at the moment.

2 Finally, every two months, we have a Director's
3 program review, where the individual project managers, and,
4 often, the assistant managers report in their particular
5 areas to the Director as to their progress against the work
6 plan, identify the issues that have come up, discuss status
7 of changes that have been made, and pending changes.

8 We also find that document review serves to
9 integrate the program; also, document preparation. The term
10 integrated product teams came up in a number of presentations
11 yesterday. This is the way that we've tried to approach most
12 of these activities.

13 The development of the three plans that I mentioned
14 earlier, these were developed with integrated teams. Often,
15 an initial cut will be made by the headquarters staff or the
16 headquarters support contractor. Then they go out to the
17 projects for input and discussion, and, at other times, the
18 input is developed at the project and sent back and
19 integrated within the headquarters organization to ensure
20 consistency.

21 The annual budget preparation is accomplished in
22 the same manner. It involves an integrated activity across
23 the program.

24 The speeches, a lot of the policy is articulated
25 through the speeches that Dr. Dreyfus or Lake will make to

1 various organizations, including the Board, the NRC
2 testimony, the hearings on the hill. These are all, again,
3 integrated throughout the program for review, and in the
4 preparation to ensure that we do have a consistent approach
5 to these activities.

6 Finally, as I mentioned, the testimony. One of the
7 areas where we're getting a lot more utilization of the
8 electronic media is we now have a, I'll almost call it a
9 policy baseline available on our machines that includes the
10 latest speeches, the latest response to Congressional
11 questions and answers, that will give the members, or the
12 program participants a instant view of where the policy
13 stands, to ensure we're working in a consistent manner.

14 I'm going to focus a little more on the technical
15 integration now. We have a number of what I've called
16 integrating technical, or descriptive documents. I think
17 synthesis documents is probably a better word that I heard
18 used just a minute or two ago.

19 At the program level, we have a total program
20 description, and a concept of operations, where we articulate
21 how the system will work from receipt at the reactors, to the
22 ultimate disposal. The sections of this report that involve
23 the repository are prepared through these integrated project
24 teams with repository people, and the sections that involve
25 the waste acceptance and transport are worked through the

1 Office of Waste Acceptance, Storage, and Transportation.

2 The same sort of descriptor, I think, can apply to
3 the waste isolation strategy, where these are somewhat
4 umbrella documents that characterize the entire system, or
5 how it works, and allows the actual participants and the
6 folks doing the work to see how it fits together.

7 There are other areas where similar activities are
8 going on, and one is the criticality area, where the M&O has
9 a working group that is looking at the issue of criticality
10 and developing a strategy and approach for dealing with that.

11 I think you've heard, in the last two days, a lot
12 about controlled baselines, and I think Rick referred to CRs,
13 which are change requests. I like to group them into two
14 sets of controlled baselines. One is the technical
15 requirements baseline, which is a compilation of the
16 appropriate regulations and the technical or the policy
17 decisions that have gone into defining the overall program in
18 the Civilian Radioactive Waste Management system.

19 This is subject to change control at the various
20 Board levels. At this particular point, this is a very
21 detailed and, in my view, a very cumbersome set of
22 requirements documents, or a suite of documents, and we're
23 now working to try to better streamline the way we manage
24 this so that the projects are able--or so we can address
25 change, as it comes, more effectively, and the business

1 centers have more control and more direct involvement in how
2 they manage their requirements they need to meet.

3 The other controlled baseline is the annual work
4 plan, which incorporates the work scope, the technical
5 activities that will be performed, and the cost and schedule.
6 This is the baseline that we tend to manage against, and the
7 change process deals with when we need to move funds, or we
8 change the scope of the activities.

9 I think, yesterday, several people talked about
10 change management. The change management process basically
11 deals with changes in the approved baseline. Level 1
12 baseline changes are approved by the Director or the Deputy
13 Director. The Board at the Level 1, or the program level,
14 consists of the office directors and the business center
15 managers.

16 We also have a provision for other impacted parties
17 to participate in Board meetings on these issues. One of the
18 ones that I'll mention in a few minutes, we are going to
19 have--EMs been involved in review of the decisions, since it
20 involves the disposition of DOE-owned spent fuel, for which
21 they are the custodian.

22 The actual Board-proposed changes are evaluated by
23 all elements of the program, and such issues as technical,
24 quality assurance, health and safety, design interface,
25 regulatory, environmental impacts, construction, waste

1 isolation, scientific investigations, especially engineering,
2 cost, total estimated cost, total project cost, total system
3 life cycle cost are all analyzed and fed into the change
4 requests so that the Board can look at the impacts of the
5 proposed change.

6 The other thing that I should mention, and I think
7 Dennis Royer talked about it yesterday, are the systems
8 studies are performed to develop some of the information for
9 these changes as they come forward.

10 Some of the more recent program level board changes
11 that have been processed in this fiscal year, there are two
12 changes associated with the MPC and, basically, the impacts
13 of the appropriation on our work in that area. We are also,
14 right now, processing one on incorporating the DOE spent fuel
15 into our technical baseline. This is one where the Office of
16 Environmental Management within the Department do participate
17 with us. We've worked very closely with them on this change,
18 and they actually comment on the proposed changed, and will,
19 if we have a Board meeting and discussions, they will sit in
20 and participate.

21 The final one that's coming up is baselining the
22 annual work plan so we have that under formal change control
23 process.

24 This is just a dated slide that talks about, to
25 give you a feel for how these particular changes are

1 implemented, this is a directive of actions that came out of
2 a MPC policy change, and this is looking at moving us away
3 from a federally-developed multi-purpose canister system. I
4 won't go through it. It is somewhat similar to some of the
5 things you saw yesterday, where the forecast date, and the
6 date assigned, and the responsible party are all identified
7 with a specific action that comes out of the change.

8 The last area of technical integration we've talked
9 about is the interface management activities, and this, we
10 had two activities that are ongoing. We have an interface
11 control working group, which is--I think I'm the designated
12 chair, but involves representatives from all the engineering
13 design organizations within the program, and we basically
14 look to ensure that the interfaces, the physical interfaces
15 between the various parts of the system do interface
16 correctly; that what we ultimately end up with will fit and
17 operate efficiently.

18 We had been meeting regularly. We haven't met
19 since the last round of budgets, while we're re-looking at
20 the role and the level of activity. Basically, the
21 responsibility for the interfaces in ensuring that they fit
22 does rest with the implementing organizations. This group
23 mainly serves as a facilitator, sort of an oversight
24 function, and what we want to encourage and push for is that
25 the design teams, when they are working in areas where they

1 have a common interface, do coordinate.

2 There's been a lot of that going on with the MPC.
3 I think the waste package people who work for Rick Craun have
4 worked very closely with the design people, who were
5 supporting to Jeff Williams, or doing the effort for Jeff
6 Williams on the multi-purpose canister.

7 There are other areas where there's ongoing
8 interface between the projects. The actual design activities
9 for the handling facilities, I believe the design team that
10 had worked on some of the interim storage designs, conceptual
11 designs, worked with the designers on the waste facility, and
12 now, as they're going into this TSAR effort that Lake
13 mentioned, there's interface back where the design work that
14 had been done for the advanced conceptual design is being fed
15 back to the design organizations who are supporting the
16 interim storage facility work.

17 The last area that I'll mention will be the
18 external integration, and I mentioned earlier, there's a lot
19 that has to do with NRC, EPA. Certainly, there's a great
20 deal of external integration with the Congress and the
21 different staffs of the committees that is handled out of the
22 Director's office.

23 We do a lot of external integration with the other
24 elements of the Department of Energy with regard to the
25 disposition of their waste. In the high-level waste areas,

1 we've had a standing group that meets periodically with the
2 producers to ensure that the waste products are consistent
3 with our requirements. I believe Steve and others have
4 briefed you on this in the past.

5 We also have a DOE spent nuclear fuel working
6 group, which has, again, been approached through a product
7 team approach, or an integrated product team, I guess we'll
8 call it, where we've had myself and Steve, and
9 representatives from the waste acceptance side and the
10 repository side working with the individuals who are the
11 custodians of this material to identify the near-term issues,
12 and to propose a path forward to integrate this into our
13 program. This baseline change proposal, I think, is the next
14 step in that process.

15 And, finally, there are other materials, and, with
16 that, I'll sort of close, since Steve will cover that in his
17 presentation. I'm sorry that was so fast, but I, hopefully,
18 got us a little bit back on schedule.

19 DR. CORDING: Thank you.

20 We have time for just, perhaps, one or two
21 questions. Yes; John Cantlon.

22 DR. CANTLON: In your Overhead No. 7, where you address
23 technical integration, could you illustrate for us the way
24 those four bullets might accommodate a waste isolation
25 strategy integrating principle? In other words, here you've

1 got a theme, a way in which you're trying to make a coherent
2 system that actually works to do the job you're assigned to
3 do. How does your bureaucracy, which is what you're looking
4 at, how does the bureaucracy now accommodate that challenge?

5 MR. CARLSON: For the waste isolation strategy, I'd
6 almost prefer to turn a response over to someone like Dr.
7 Dyer, but I will talk from my perspective--

8 DR. CANTLON: We heard his yesterday. We want to hear
9 how the bureaucracy responds to that challenge.

10 MR. CARLSON: Now, within the--are you ready to jump in,
11 or are you going to let me take a shot at it?

12 (Laughter.)

13 MR. CARLSON: The waste isolation strategy itself has,
14 the earlier drafts have been circulated back within the
15 program. Certainly, the regulatory integration group is
16 taking a hard look at it to make sure that we're consistent
17 in our regulatory approach, and the approach reflected in
18 that policy.

19 My staff, who has experience in those areas, has
20 looked at it, some of the contractors who support me, to make
21 sure there's nothing in there that's inconsistent with our
22 view on the policy. Now, when we get into the technical
23 details, we don't have the, call it the horsepower to get
24 into that.

25 The document is--and this, I don't believe it is

1 baselined, but it does become controlled. It's the--such as
2 this concept of operations in this total system description,
3 it's not something that's submitted through formal control,
4 but it's approved by the Director, and you don't change it
5 without it going through an extensive review. It's not
6 something that I could go and change, and say, "Well, this
7 week, I don't think this is the appropriate way to go."

8 I believe the waste isolation strategy, when the--I
9 can't be sure I characterize them right, but when the
10 negotiations are finished and we have a good consensus on it,
11 will fit into that mold. It's not something, given the work
12 that's gone into getting the agreement, that can be changed
13 simply, so it does serve somewhat of a function of a
14 controlled baseline for the program, and it certainly does
15 serve to define the interfaces, and try to tie them together
16 within the structure of the scientific programs, the PA, as
17 Abe described it, and the work that Rick Craun's trying to do
18 on these horrendous schedules that he's facing.

19 Does that help at all, or am I--

20 DR. CANTLON: Well, having spent 25 years as part of a
21 bureaucracy, I know that bureaucracies can be facilitators,
22 or they can impede synthesis of this type, and I guess what I
23 was trying to find from you is, is there a real commitment on
24 the part of the bureaucracy to facilitate this synthesis,
25 which has been one of the weak points of the program almost

1 from the beginning, the lack of synthesis and coherence
2 around the real final objectives.

3 Early on, you heard the Board criticize the program
4 a being regulatory oriented rather than a gestalt, looking at
5 the gestalt of the challenge, because it's a prototype
6 problem, and if you're just simply addressing the way the
7 regs are put together, and the question is, can a bureaucracy
8 as old and as entrenched as DOE accommodate this kind of a
9 challenge to come at it, and I was trying to find from the
10 core, the heart of the bureaucracy, whether that's taken to
11 heart now.

12 MR. CARLSON: Yes, it's taken to heart, and, as I've
13 said, I have the fortune or misfortune of being the longest
14 surviving federal employee at headquarters on this program,
15 and there has been sharp change, and there has been a lot of
16 refocusing and re-looking, as you say, at the overall
17 picture, and rather than a very strict focus on regulatory
18 interpretation, but more of a look at how this system is
19 going to behave and perform, and does that provide us
20 adequate safety, which is, I think, the question that you
21 were driving at, yes.

22 DR. CANTLON: Thank you.

23 DR. CORDING: Dennis Price, Board consultant.

24 DR. PRICE: This may be the chance to ask something that
25 I've really been curious about. Bless Bess, where is TESS?

1 TRW, I haven't heard the words yesterday or today, and I
2 would think, in program integration and talking about
3 communication, and so forth, that--this is one question.
4 I've got another question later--that, certainly, TRW is
5 supposed to be integrating the program, program integrator,
6 and what's going on there?

7 MR. CARLSON: Okay. If I didn't call them out
8 specifically, most of these integrated product teams that
9 were talked about are composed almost entirely of contractor
10 individuals. Now, the DOE spent fuel working group or
11 product team are feds, but the systems study that Rick Memory
12 mentioned yesterday, which did include program systems
13 engineering people, people from the waste acceptance group,
14 those folks are all the M&O contractors.

15 The integrated criticality planning team--and that
16 was an offshoot of one of the more, I thought, very good
17 activities that came out of the early MPC work, where they
18 formed program integrating groups within the M&O to address
19 common issues. Now, these became known, affectionately, as
20 PIGs, but they've continued to stay on and function within
21 the areas of criticality.

22 I think, as I said, the thermal loading study, the
23 M&O is in the middle of all of these things that I've
24 described. They are very involved, certainly, in the
25 requirements documents, the documents maintenance, the

1 baseline change. The Level 3 Board is the contractor board
2 at the--within the M&O.

3 I believe the interface management within the
4 project at this point has entirely been assigned to the M&O,
5 so they are in there in a very active, integrating role.

6 DR. PRICE: Well, just as someone who was actively
7 involved in the program and then stepped out for a little
8 while and then came back, it really struck me that there's a
9 difference in visibility of the M&O, and we're on program
10 integration, and so I would have expected more visibility.

11 MR. CARLSON: Yeah. I think one of the differences has
12 been that I think this briefing for the Board or this session
13 was very much set up for the federal staff and the managers
14 to get up and talk about their integrated planning, their
15 integrated activities, so this one--and you are correct,
16 there has been much more of a focus on the federal
17 involvement.

18 DR. PRICE: And the second question I've got, speaking
19 of program integration, and talking about the program moving
20 into the production mode, didn't notice anything in the
21 presentation about the integration of the design disciplines,
22 and so forth, the human factors, system safety, reliability,
23 maintainability, systems engineering kinds of things, and how
24 they're integrated into what is really going on in the
25 program.

1 MR. CARLSON: Rick, would you like to address that one?]

2 MR. CRAUN: This is Richard Craun, DOE.

3 I think at the level that we've presented, you're
4 right, we did not really address the internal engineering
5 integration, starting from the systems, the layout of the
6 structures, and those issues, the integration between one
7 organizational element and another.

8 Those activities are there. You know, we can more
9 than easily bring forward discussion in those areas. A lot
10 of activity is taking place. Again, a lot of that is being
11 tied together with the schedule that we're trying to drive
12 down into those levels so that we can identify at what point
13 do we need the system descriptions defined, and then how do
14 those drive the general specifications for those systems, so
15 a lot of that activity Paul Harrington, yesterday, touched on
16 briefly, but there's a lot more of that taking place,
17 especially as we're shifting into more of, as I tried to
18 explain yesterday, a production mode, to actually start
19 producing the design itself, and producing all of the
20 information necessary to go into either a license application
21 or construction.

22 So, that does exist. It is available, and we'd be
23 more than willing to talk about it.

24 DR. CORDING: Thank you very much; appreciate it.

25 We're going to have our break now. We'll take a

1 break for about 14 minutes. We're going to pick up a minute
2 on the break. If you would, be back promptly, and then we
3 are going to continue with the rest of these presentations.

4 We'll probably be going to lunch a few minutes late
5 if we can't completely catch up. We'll reconvene at 10:25.

6 (Whereupon, a brief recess was taken.)

7 DR. CORDING: We have three more presentations before
8 the lunch break, and the next one is Steven Gomberg's on
9 other material that may be destined for geologic disposal.
10 Dwight Shelor will also be talking, and then Lake Barrett
11 will be giving us a wrapup before lunch, so we look forward
12 to all that, and, please, Mr. Gomberg.

13 MR. GOMBERG: Okay, thank you.

14 I wanted to thank the Board for the opportunity to
15 present this update on work in progress. It's a very top-
16 level integration activity that we have been doing to work
17 with the other materials that may require geologic disposal.

18 As Dr. Dyer pointed out yesterday, something, I
19 think, that I've always tried to take to heart, that is that
20 integration is everyone's job, and, certainly, that's true,
21 and we've had a lot of good integration and work from the DOE
22 and the M&O people.

23 I wanted to point out some special integrators who
24 have really facilitated the progress that we've made. Diane
25 Harrison, from Yucca Mountain Project, I told her I would

1 embarrass her somehow today, and Christine Sfinike from the
2 Office of Waste Acceptance, Storage and Transportation.

3 I've tried to put this in a format. The first part
4 of the presentation will be general, generic information or
5 process for being able to evaluate any waste form for
6 ultimate incorporation into the program, and then I'll talk
7 specifically about four of the potential nuclear materials
8 that are being evaluated to some degree within the program
9 for possible inclusion.

10 Why are we doing this? Certainly, the OCRWM
11 Strategic Plan identifies two key goals. Our primary goal,
12 of course, is to lead the effort for disposing of high-level
13 waste and spent nuclear fuel, but our second strategic goal
14 is to participate actively with key deliberations that affect
15 the Department's decisions on disposing of nuclear materials.

16 Now, currently, the program is baselined, and the
17 planning basis and the technical requirements basis
18 basically, limit receipt of spent nuclear fuel and high-level
19 radioactive waste in the primary emplacement area, the first
20 repository, to no more than 70,000 metric tons, and this is
21 basically allocated 63,000 metric tons to civilian spent
22 nuclear fuel, and 7,000 metric tons equivalent of vitrified
23 high-level waste. What I'll be talking about in this
24 presentation will primarily involve reallocating the defense
25 allocation of 7,000 metric tons.

1 Our current planning is to accept spent fuel and
2 high-level waste that is not also regulated under the
3 Resource Conservation Recovery Act. We are a Part 60
4 facility, not a treatment, storage, and disposal facility,
5 under RCRA. Obviously, there is more capacity that needs
6 disposal than the 70,000 metric tons, and for various
7 reasons, in addition to that capacity, there are some
8 thoughts about future growth option, if that's available, and
9 if the safety and performance of the repository will allow
10 that to potentially put more in there.

11 Now, throughout the Department, there is a
12 recognition of the nation's responsibility to address the
13 remnants of the Cold War. Most, if not all of the wastes
14 that I will be talking about or the materials today fit
15 within that general category. Certainly, the Department's
16 Defense Nuclear Facility Safety Board, the National Academy
17 of Sciences have all recognized the vulnerabilities and the
18 issues associated with cleaning up the remnants of the Cold
19 War, and, in addition, within the Department, there have been
20 a lot of activities that have formulated decisions,
21 strategies, and policies that, of course, the Civilian
22 Radioactive Waste Management program is very integrated and
23 involved with.

24 Now, from a management and disposal perspective,
25 there are certain key considerations that a material or waste

1 form is looked at. Certainly, the inventory and the
2 characterization data is the key that we need to be able to
3 assess and understand the characteristics of the waste form,
4 as they are important for disposal.

5 There are regulatory and statutory considerations.
6 Is it spent fuel or high-level waste, defined under the
7 Nuclear Waste Policy Act? Certainly, the criteria for a
8 waste package and its components, which is the title of 10
9 CFR 60.135 is a key consideration, and that's also one of the
10 drivers that identifies those aspects of a new material that
11 might be important, that might have certain characteristics
12 that we really need to focus on, and I'll refer you to Part
13 60 for some of those considerations.

14 Next, the design and operational considerations,
15 primarily the waste package design must be considered, and
16 conceptual designs are fostered and developed to help us
17 through the process of analyzing how we would go about
18 actually disposing of some of these materials, if that's the
19 case.

20 Also, long-term performance, both of the engineered
21 barrier system, and the total system performance are very
22 critical. Certainly, those aspects of the waste isolation
23 strategy which relate to the waste form, primarily, that's
24 the source term, are looked to to be consistent with. Some
25 of the key drivers from the performance area are total system

1 performance and the criticality, long-term criticality
2 analyses. And, thirdly, we need to understand the cost and
3 schedule implications as part of incorporating these waste
4 forms.

5 I wanted to talk next about a very general process
6 or the steps that would be done, ultimately, to incorporate
7 new materials into the program planning and execution.
8 Certainly, right now, for most of these waste forms, we are
9 in the first step, which is conducting the preliminary
10 analyses. Basically, we compare the waste forms, very
11 simply, to the commercial spent fuel, and the vitrified
12 borosilicate high-level waste standards that are currently
13 the program planning basis, and use that as a basis to assess
14 areas of importance for new waste forms.

15 Ultimately, we will get to a point where we feel
16 comfortable in modifying the programming planning and design
17 bases, and begin the process of starting to look at putting
18 these into our designs and our licensing strategies. The
19 first step, and the one that Jim alluded to and I'll talk
20 about a little bit is the baseline change proposal process.

21 We have submitted an initial baseline change
22 proposal to incorporate DOE spent fuel, and to make it part
23 of the program and project planning basis. That's a first
24 step in ultimately getting these things incorporated into the
25 lowest level design specifications and other details that

1 would really facilitate the implementation of these new
2 materials into the program.

3 Jim talked about the impact evaluations that go on,
4 and those are all the things that we need to do. That's one
5 area where the M&O has been very aggressive in integrating
6 and developing all the appropriate analyses to support the
7 impact analysis.

8 And, at that point, we would then revise the
9 documentation in the program to allow the bases to be in
10 place for work to proceed, and identify changes to plans and
11 work scope in order to make sure that these activities can be
12 implemented.

13 Then, obviously, we would incorporate these into
14 the program development activities. It becomes a very
15 iterative process. As more information is developed, we
16 submit more and more low-level baseline change proposals,
17 and, ultimately, get to the point where we have detailed
18 design and licensing strategies. We have the information we
19 need to do NEPA and environmental evaluations, and, also, to
20 get in the process of developing detailed waste acceptance
21 criteria.

22 Now, what materials am I talking about? I wanted
23 to talk about five materials that we are currently spending a
24 relatively low level of effort within the overall program on
25 trying to integrate; Department-owned spent nuclear fuel,

1 surplus weapons fissile material--primarily, we're interested
2 in the plutonium part of that, as opposed to the high-
3 enriched uranium part of that--alternative immobilized high-
4 level waste forms, cesium and strontium capsules which were
5 removed from the tanks at Hanford and are currently in the
6 form of cesium and strontium salts, and greater-than-Class C
7 low-level wastes.

8 I wanted to point out that from the program
9 perspective, where we do our integration, primarily, is with
10 the project offices, and, also, with the people that are
11 responsible for managing these materials currently within the
12 Department, the Office of Environmental Management, and the
13 Office of Fissile Materials Disposition.

14 The first waste form now, in the specific part of
15 the presentation, there is a diverse inventory of spent fuel
16 owned by the U.S. government, and this is generally going to
17 be referred to as DOE spent nuclear fuel.

18 The way I've structured this last presentation was
19 to try to lay out for you the decision making process, either
20 completed or ongoing, within the Department, and so that's
21 the first set of slides. The decision process is backed up
22 by environmental impact statements, programmatic
23 environmental impact statements, records of decisions, and
24 other things along that line.

25 Certainly, for the Department-owned spent nuclear

1 fuel, the most important, in my opinion, a record of
2 decision; whereas, from the programmatic environmental impact
3 statement for the DOE-owned spent nuclear fuel and the Idaho
4 National Engineering Laboratory environmental impact
5 statement, the primary plan there was to use as a Department
6 planning basis that some or all of the DOE-owned spent
7 nuclear fuel would be disposed of in a first geologic
8 repository.

9 Certainly, there have been other environmental
10 impact statements--I've listed them here--which have also
11 been integrated and consistent with that overall programmatic
12 EIS, and have also helped to lead us to a set of decisions.

13 The next part of this for these new forms would
14 then be to talk about the inventory, what waste forms are we
15 talking about? I said the DOE spent fuel was rather diverse.
16 I think, at some count, there's over 150 different types of
17 spent fuel that are out there. I tend to categorize them
18 into some simple categories. N-reactor production fuel is
19 certainly the majority of it. There is roughly 70 to 80 per
20 cent of the overall material is the Hanford production fuel
21 that is right now residing in K-Basins out at Hanford.

22 Naval propulsion reactor spent fuel, we've talked a
23 lot about that. There's a small percentage of that inventory
24 for the Naval fuel.

25 Research reactor spent fuel, special case

1 commercial spent fuel, which includes things like the Fort
2 St. Vrain spent fuel, the TMI fuel, West Valley Demonstration
3 Project fuel that came out through the reprocessing. I'll
4 let you read through. The total inventory is about 2741
5 metric tons projected through the year 2035, compared at to
6 about 84,000 metric tons of commercial spent fuel, also
7 projected out to about that time frame.

8 Okay, then the next part of the aspect for each of
9 these materials was to talk about the activities or the
10 progress we have done. Certainly, RWDM has made some
11 progress to assist with the Department's evaluations and
12 decisions, especially as it would relate to disposal. We've
13 identified preliminary requirements for the disposition of
14 DOE spent fuel. This is a top-level set of requirements. It
15 certainly needs to be developed in more detail as we progress
16 through time.

17 We are working on identifying key data needs that
18 will be needed for DOE-owned spent nuclear fuel. We're using
19 existing activity, the Unified Database working group, to try
20 to get the expertise we need through an integrated product
21 team to identify those data needs.

22 We've also participated with environmental
23 management in going out to the sites and looking at the
24 quantity and quality of the data that exists right now on the
25 DOE-owned spent nuclear fuel, and, obviously, we try to

1 compare that, as best we can, to the records and
2 administrative controls that the utilities use.

3 Through the DOE spent nuclear fuel steering group
4 that Jim to earlier, are some lower level integrated product
5 teams, and one of the things they've been doing that's very
6 useful is trying to develop an integrated set of
7 characterization test plans that could be used to get some of
8 the information we need on the performance-based
9 characteristics of these new materials.

10 And then, as I said, we've submitted an initial
11 baseline change proposal. This first step was to change the
12 planning basis and the top level requirements. Generally,
13 what it would do is allow for the initial 7,000 metric tons
14 of high-level waste to be displaced, some of that to be
15 displaced by up to 2,300 metric tons of DOE-owned spent
16 nuclear fuel.

17 And then other important activities to help us
18 assess the impacts on DOE spent fuel being incorporated into
19 the civilian radioactive waste management system, we've
20 established the DOE spent fuel steering group. It's a very
21 important integrating body. We are currently evaluating our
22 work scope and our schedule-based impacts for incorporating
23 the spent fuel into the program. We want to do this in a way
24 such that we would minimize impacts to the overall project
25 schedule to submit a license application in 2002.

1 We have done some preliminary performance
2 assessment sensitivity studies and criticality calculations
3 for DOE-owned spent nuclear fuel, especially focusing on some
4 of those higher initial enrichment fuels.

5 We have done a bit of work focusing on research
6 reactor spent nuclear fuel, both foreign and domestic
7 research reactor fuel, and are right now completing up an
8 assessment of aluminum-clad fuels and looking, from our part,
9 from the disposal considerations that are important to a
10 series of about eight or ten different options for dealing
11 with some of these research fuels.

12 And, in addition, we have been working in the near
13 term to ensure that the canistering concepts for N-reactor
14 fuel are consistent with the RW canistering needs, and, also,
15 trying to look at the impacts of pyrophoricity as might be
16 related to the N-reactor fuel due to its special nature, and
17 ensure that those are not considerations for repository
18 concern, but ensuring that the right data is collected on the
19 pyrophoric characteristics of that fuel.

20 Okay, the next form is surplus weapons, usable
21 fissile material. As you're aware, the administration is
22 trying to reduce the stockpile of fissile materials that are
23 potentially out there that need to be managed, maintained for
24 safety, and controlled from a nonproliferation standpoint.
25 There's currently a draft, a programmatic environmental

1 impact statement on storage and disposition of weapons-usable
2 fissile materials, and RW provided a lot of support on
3 evaluating the disposal considerations of some of the various
4 options that were under consideration.

5 Record of decision is planned, I think, for later
6 this fiscal year, I think in the August-September time frame,
7 and that will narrow down to a smaller set the number of
8 options that are being considered. These decisions have not
9 been made yet, so this is more a inventory of the potential
10 waste forms that have been analyzed. We don't know yet which
11 one will actually be the preferred, as far as the record of
12 decision goes.

13 There are also more reactor disposition forms, and
14 that is basically looking at BWR or PWR, mixed oxide spent
15 fuel. That would basically be provided and burnt in
16 commercial reactors. That may actually become part of the
17 63,000, or the civilian allocation, because that would
18 basically be given to the reactors, and then they would burn
19 that as part of the power generation, as part of the concept
20 of removing this fissile material from the environment.

21 In addition, there are immobilized forms, primarily
22 involving different concepts with borosilicate glass and
23 plutonium. There's also some crystalline ceramic forms, and
24 some glass-related bonded zeolite forms.

25 Some of the activities that we have done in support

1 of the EIS and future activities that we plan to do, we've
2 done a lot of long-term criticality evaluations, but we still
3 need to do more work on some of the degraded mode. We've
4 looked primarily at the intact mode of criticality. We've
5 conducted some total system performance assessments and,
6 given the relative level of the inventory of radionuclides,
7 it's been shown that there's not a significant TSPA
8 contribution compared to commercial spent fuel and high-level
9 waste.

10 We've looked very carefully at some of the
11 operational and handling considerations. We want to minimize
12 handling. We want to have a way that we can ensure that
13 material control and safeguards can be effected, and ensure
14 that it would be integrated as part of the overall repository
15 operations, with a nonproliferation focus.

16 We've also evaluated some of the regulatory and
17 statutory implications that question is it spent fuel and
18 high-level waste. Certainly, there is some thought that for
19 the high-level waste, the immobilized forms, there may need
20 to be some rule making or determination as to whether those
21 waste forms fit into the general category of high-level
22 waste.

23 The Board has been to Hanford before as one of your
24 trips, and I'm sure you've been out to Area 200 and got to
25 see, I think there's around 177 tanks out on the tank farms,

1 and on which decisions are being made on how to best clean up
2 the tank waste in accordance with a tri-party agreement that
3 was established some years ago with the Department.

4 The draft tank waste remediation system
5 environmental impact statement was issued in March. The
6 preferred alternative was basically to vitrify or immobilize
7 the high-level waste in the tanks into some form, and
8 transport it for disposal to a repository.

9 In addition, and in parallel to this, there's been
10 a request for a proposal submitted back in February,
11 requesting proposals for privatizing the cleanup operations.
12 Basically, a private vendor would come in, treat the waste
13 in the tanks into some immobilized form. The Department
14 would accept it and, ultimately dispose of it.

15 One of the things I wanted to point out on this
16 slide, by the way, and why I'm talking about this is some of
17 the alternatives looked at non-borosilicate immobilized high-
18 level waste forms, or what I'll call here alternative
19 immobilized high-level waste forms.

20 One of the reasons they've been looking at these
21 alternatives, of course, is because the costs and the number
22 of canisters under some of the options are just prohibitive.
23 The TWRS EIS looked at about seven or eight different
24 options, four of which were called ex situ. Those would be
25 required to be taken off site for disposal off site, and

1 they've identified canister counts, and these are the DWPF-
2 size canisters in the range of anywhere from 1,500 to over a
3 half a million canisters of high-level waste.

4 I don't know about anyone else, but I can't imagine
5 being in a position of working a half a million canisters
6 into the operation of this program, and, obviously, we're
7 looking for cost efficiencies, and there are other
8 alternatives that are being evaluated, and we expect that as
9 part of the RP process, vendors will come in with their own
10 proposals for alternatives, and we are working with EM to be
11 in a position to help evaluate those proposals.

12 RW has been involved in numerous interactions
13 regarding the Hanford tank waste issues. We've provided
14 Hanford a set of preliminary requirements to use in
15 evaluating different vitrified high-level waste forms.

16 We've done a total system performance sensitivity
17 study. I think, Abe, you did it yourself, from what I read,
18 and we found, with very conservative assumptions, that it's
19 not very sensitive to total system performance, what the
20 different types of immobilized forms are, within some level,
21 certainly, of sensitivity, but it did identify that there is
22 a need for certain information that we need to try to focus
23 on and make sure is available as we evaluate these forms,
24 primarily dissolution and chemical-related information that
25 we're going to need to tie it into the waste isolation

1 strategy, and ensure that they don't contribute
2 overwhelmingly to total system performance.

3 We've also done an analysis looking at a four and a
4 half meter, 15-foot canister, if you will; also helped them
5 put more glass into packages, reduce the canisters, reduce
6 the cost, but also be consistent within the operational
7 strategies of the program, and, ultimately, get those
8 underground.

9 Cesium and strontium capsules, I talked about a
10 little earlier. One of the things that Hanford did to manage
11 the heat was to remove cesium and strontium from the tanks.
12 They put them in the forms of cesium chloride and strontium
13 fluoride salts. Some of those have since been taken out and
14 used for commercial uses for controlled radiation sources.
15 Those are all being brought back and disposition is being
16 looked at for those. We've recently identified some areas of
17 concern regarding the direct disposal of the capsules.

18 We're also planning on working with Hanford over
19 the course of the finalization of the environmental impact
20 statement to better refine and develop the cost estimates to
21 really help in the decision. Costs are not necessarily
22 traditionally part of the EIS process, but some of these
23 costs are of such magnitude that they really do need to be
24 considered as part of the overall equation.

25 Finally, something that is not really high-level

1 waste or spent nuclear fuel. It's very consistent with the
2 hardware, the non-fuel bearing components. That's greater-
3 than-Class C low-level waste. It's low-level waste that
4 exceeds the Class C definition of low-level waste that the
5 NRC uses in Part 61, and the Department has a statutory
6 obligation to dispose of these materials.

7 As part of the revisions to 10 CFR 61, the NRC
8 noted that unless the Department proposes an intermediate
9 storage facility; i.e., not a near surface, not a deep
10 geologic, but an intermediate suitable for disposing of
11 greater-than-Class C low-level waste, it was only authorized
12 or suitable for disposal in a Part 60 facility.

13 The Department is still developing strategy
14 recommendations. I'm not aware of any environmental impact
15 statement or programmatic-related decisions. The Department
16 has decided that it's not cost-effective to dispose of the
17 relatively small amount of greater-than-Class C low-level
18 waste in an independent facility, and they had proposed
19 looking at co-disposal, A, in a geologic repository with
20 spent nuclear fuel; B, with other low-level wastes the
21 Department owns, called DOE-held or special case waste, and
22 so they're looking at all those options.

23 The inventory is roughly 3,000 cubic meters, 2,000
24 of which is basically non-fuel bearing hardware, as part of
25 the decommissioning or disassembly of commercial spent fuel

1 assemblies. In addition, there are some sealed radiation
2 sources and some other commercial-generated waste, which is
3 filter resins, filters, other contaminants, things along that
4 line.

5 Okay. With that--and I've included some backups
6 to, hopefully, give you a chance to read some more
7 information on that. With that, I hope I've kept within my
8 time frame, and I'll open it up to any questions.

9 DR. CORDING: Questions from the Board? Don Langmuir.

10 DR. LANGMUIR: A very technical point of curiosity. We
11 got to look at and learn about the cesium/strontium chloride
12 salts on a trip to Hanford a year or so ago, and that the
13 Department had tried to do some very useful, constructive
14 things with them, and then got sued for it, at great expense.

15 But, the point of the question is, as a geochemist,
16 I'm aware of some very insoluble minerals, called pollucites,
17 minerals of cesium and strontium-like silica and alumina, and
18 my bet is if you emplace--I'm sure this has been discussed--
19 in some of these mineral phases, they'd be much less soluble
20 than they are in the glasses that are the other option, and
21 I'm wondering where you've--I'm presuming this is part of the
22 analysis that's been going on as an option.

23 Can you address that?

24 MR. GOMBERG: Yeah. We haven't looked, to my knowledge,
25 at specific options along the level that you're talking

1 about, and one of the reasons has been because of funding
2 limitations. We have really identified our desire to
3 continue looking at further work, and, certainly, as you
4 said, putting it into the glass is one of the options.

5 Certainly, we would want to consider those ideas as
6 we, hopefully, next year begin some more detailed evaluations
7 for cesium and strontium, and, certainly, anything to reduce
8 the solubility, which was certainly one of the key drivers as
9 to why we felt we needed some further analysis, is definitely
10 a very positive thing that we would want to look for.

11 DR. LANGMUIR: It'd be a very cheap and quick and dirty
12 evaluation. It shouldn't cost much at all to determine
13 whether that's an appropriate disposal criteria.

14 MR. GOMBERG: Okay, and, certainly, cost is definitely
15 one of the key drivers.

16 DR. CORDING: John Cantlon, Board.

17 DR. CANTLON: Yes. The defense side of DOE, as I noted
18 from Lake Barrett's presentation, is scheduled, essentially,
19 to equally co-fund OCRWM's budget now from '87 on, and
20 looking at your Overheads 11, 12, and 13, you lay out a
21 fairly substantial set of data needs, research needs to
22 address problems relevant to disposal.

23 Some of those research needs, for instance, the
24 whole business of confirming the zirconium cladding in Naval
25 fuels and its corrosion status, and so on, the criticality

1 question, the diversion security issue related to Naval fuel,
2 all are so specific to the defense waste, I guess the
3 question I'm raising is the fact that they're co-funding a
4 very limited budget, which really is sort of storage and
5 repository development questions.

6 I'm wondering whether or not the defense budget
7 itself has got a major research program to address these
8 explicit issues that are more centrally related to their
9 particular challenge they're placing on the disposal.

10 MR. GOMBERG: Certainly, the environmental management,
11 which is the subject of these slides on DOE-owned spent
12 nuclear fuel, 11 and 12, at least, do have a budget that has
13 been identified to support the disposal-related activities
14 under their primary function of preparing the waste for
15 disposal.

16 One of the reasons we have tried to work together
17 is because we realize we cannot be in the position, or
18 necessarily need to characterize 150 different waste types.
19 We do know that characterization is potentially costly, and
20 each waste form, each spent fuel type has its own set of
21 characteristics compared to spent fuel that we want to focus
22 on, so we've tried to minimize the number of forms that we
23 would characterize, do it in a controlled fashion, and also
24 focus on those aspects that made it different from our
25 uranium oxide, zirc, stainless steel clad spent fuel.

1 DR. CANTLON: The next question, then is: Are you set
2 up so that you can carry their data sets into a QA-based
3 business so that you could use them in the licensing of the
4 repository?

5 MR. GOMBERG: EM has basically sent direction to all
6 their field offices that any data they collect would be
7 collected in accordance with our quality assurance
8 requirements and description document. They have put
9 together QA procedures and guidance on collection of data
10 which would, hopefully, get us set up to that point, and
11 that's especially important because, I think, the way it's
12 envisioned now--and, certainly, there are a lot of decisions
13 that need to be made--we would expect EM, as the custodians
14 of the fuel, and having it available at their facilities, to
15 primarily do the testing that would generate the data that we
16 would use in our models.

17 DR. CANTLON: Okay, and the last question here, since
18 Hanford alone has possibly as many as over a half a million
19 canisters to put in the repository, then you have Savannah
20 River, INEL, and other places generating high-level waste.
21 It's reasonably clear there's going to have to be a second
22 repository, or we're going to have to have a very much larger
23 content in Yucca Mountain.

24 MR. GOMBERG: Certainly, one of the things that's been
25 driving the space of the repository--and if I say something

1 wrong, I hope Rick or Dennis will correct me, or Abe--is the
2 heat from the commercial spent fuel.

3 Some of the advanced conceptual design work that's
4 gone on now has shown that you can place some of the cooler
5 materials within the existing spaces within the spent fuel
6 packages, and so, from that standpoint, I guess the way I
7 look at it, very simply, is either--certainly, there's more
8 than 70,000 metric tons that will need to be disposed of.
9 Either the first repository limitation of 70,000 metric tons
10 need to be evaluated, or we would have to look seriously at
11 the need for a second repository.

12 As you know, one of the bullets I put in the
13 background is we're not required to do that until around
14 2007.

15 DR. CANTLON: Right. Thank you.

16 DR. CORDING: John Arendt, Board.

17 MR. ARENDT: I don't know whether you're aware or not,
18 but there's some recent discussions, probably informal
19 discussions on the use of the depleted uranium hexafluoride
20 stockpile by converting the UF_6 to U_3O_8 or UO_2 , and then
21 making--well, as a uranium silicate, and making glass beads,
22 and the possibility of using that material for fillers in the
23 waste package.

24 I don't know whether you're aware of that or not,
25 and I was wondering whether you have interacted with, or are

1 interacting with EM or ME on the disposal of the UF₆
2 inventory.

3 MR. GOMBERG: I'm aware of it. I don't know all the
4 details of what they're doing. We routinely work with them,
5 and one of the concepts, as part of the UF₆, the depleted
6 uranium inventories that we have is looking at ways of
7 blending the high-enriched uranium with the DEU or LEU to
8 make the criticality control case much more doable, much more
9 supportable, and so, a lot of those discussions are going on,
10 and we have people who are involved or are aware of those
11 activities as part of our overall integration.

12 MR. ARENDT: In fact, I think there is probably some
13 informal talks that are being carried out at the high-level
14 waste meeting in Las Vegas this week, so there may be more
15 information available from the OCRWM side as to the use of
16 this material.

17 MR. GOMBERG: Yes.

18 DR. CORDING: One more question from Carl Di Bella.

19 DR. DI BELLA: Actually, I have a comment and a
20 question.

21 The comment is if you're studying a repository
22 with, or you're studying the possibility of having a
23 repository with greater capacity than 70,000 metric tons, and
24 you're also looking at the possibility of a greater-than-
25 Class C going to the repository, it seems to me that,

1 perhaps, the EIS should also consider these alternatives.

2 That's my comment.

3 The question is: How do these materials that
4 you've been talking about play in the 1998 viability
5 assessment? Specifically, will any of them be included in
6 the TSPA that is done for that?

7 MR. GOMBERG: Abe, you're here, and, certainly, you
8 would be one of the best people to touch on what will go in
9 the TSPA VA.

10 DR. VAN LUIK: At the risk of being reminded to wake up
11 again, I was whispering to my neighbor while you were asking
12 the question.

13 Could you repeat the question?

14 DR. DI BELLA: Yes. I was asking how these materials
15 that Steve's been talking about would figure into the
16 viability assessment, and, specifically, which might be
17 included in the total systems performance assessment that
18 will be done to support the viability assessment.

19 DR. VAN LUIK: And I have to answer truthfully, that, at
20 this point, we're looking at spent fuel and high-level waste
21 for the viability assessment, because the other waste forms
22 that we are considering, although we are actively doing
23 performance assessments on them, the statutory system does
24 not yet include them because the decisions haven't been made
25 to include them, and this may change over the next year, I

1 think, if we are redirected.

2 But, you bring up a good point, that what we do for
3 the viability assessment may not address the exact inventory
4 that decision making will direct to go to the repository
5 twenty years from now.

6 MR. BARRETT: Let me comment a little bit about that.

7 DR. CORDING: Yes, Lake Barrett.

8 MR. BARRETT: Given the limited resources we have
9 available to do the viability assessment, the viability
10 assessment is basically geared, as Abe said, on commercial,
11 you know, reactor fuel, and the defense high-level glass, the
12 traditional waste forms that we've been evaluating.

13 All these oddball cats and dogs materials are
14 likely to go to the repository, okay, and they most likely
15 will. We've looked at those to the degree that we know that
16 there's some unique aspects, like, say, the high-enriched and
17 criticality we're going to need to deal with, but there would
18 be engineering solutions that we could apply and revise, you
19 know, at the appropriate time to do that.

20 So, we know of no show-stoppers regarding these
21 other materials that we could not eventually be able to
22 address, but we don't want to try to bring everything in at
23 this point and evaluate all 150 types and have all the data
24 done at this time, but we know the EM and the Navy, you know,
25 are doing that, and we believe we'll able to do it. At the

1 time between now and '98, we will not focus on it.

2 DR. DI BELLA: So Naval fuel won't be part of the
3 viability assessment?

4 MR. BARRETT: We are in discussions with the Navy, and
5 what the Navy is doing with their engineers is saying that
6 they have--they can make their fuel as good as or better than
7 the commercial fuel, and it's a very different fuel. So, if
8 they have that material, we can include that material in the
9 viability assessment, but we in RW are not spending our
10 limited resources to do analyses of the Navy fuel. We're
11 working with them and sharing information back and forth on
12 the canisters and, as we've discussed about the zirconium
13 cladding as a barrier, and those kinds of things, we are
14 working with them, and we will learn from them, and they
15 learn from us, and we work together.

16 DR. CORDING: Okay. Thank you very much.

17 Our next presentation is Dwight Shelor's on new
18 directions in waste acceptance, storage, and transportation.
19 He is Deputy Director, Office of Waste Acceptance, Storage,
20 and Transportation in OCRWM.

21 MR. SHELOR: I guess it's a pleasure to be here. It's
22 also, probably, a pleasure for you that I'm the last one
23 that's going to spend a lot of time with you. However, this
24 reminds me of one of our colleagues the other day indicated
25 that he was once asked to leave the State of New York because

1 he spoke too slowly, and after these presentations this
2 morning, this is going to be real slow for you, so we'll get
3 onto it.

4 I'm going to talk about new directions in waste
5 acceptance, transportation, and storage this morning. In the
6 presentation, I will discuss the current situation with
7 regard to new directions in waste acceptance, transportation,
8 and interim storage planning.

9 I'll talk a little bit about our strategic
10 objectives, and I plan to focus on the transportation
11 planning in terms of the near-term waste acceptance and
12 transportation activities, and our proposed approach.

13 Interim storage planning, I'll discuss a conceptual
14 facility to the point that one can see how our near-term
15 activities support our longer-range contingency planning
16 activities, and non-site specific activities, this is
17 basically the development of a non-site specific topical
18 safety analysis report for the first phase of a two-phase
19 interim storage conceptual facility, and, obviously, that
20 effort will support our long-term contingency planning.

21 Back to the current situation, in a recent
22 statement of administration policy, it says, in part, that
23 the administration is committed to resolving the complex and
24 important issue of nuclear waste storage in a timely and
25 sensible manner.

1 With respect to the site of an interim storage
2 nuclear waste facility, it says, "Any potential siting
3 decision concerning such a facility ultimately should be
4 based on objective criteria and informed by the likelihood of
5 success of the Yucca Mountain repository site."

6 Pending legislation in both the House and the
7 Senate address the issue of interim nuclear waste storage,
8 and, as you know, the fiscal year of 1996 Appropriations Act
9 sequestered \$85 million for interim storage until legislation
10 authorizing interim storage is enacted.

11 In our revised program plan, we use a two-stage
12 strategy. This strategy assumes that the Yucca Mountain
13 viability assessment will be made in 1998, and that a known
14 storage site will be designated in 1999.

15 The first stage of this strategy includes those
16 activities that do not require a specific delivery point, or
17 a specific site. In this phase or stage, we are achieving
18 two near-term objectives; one, to develop a market-driven
19 approach that relies on the private sector for waste
20 acceptance, storage, and transportation services; and, two,
21 conduct non-site specific safety and environmental analysis
22 for an interim storage facility that could facilitate the
23 licensing.

24 The second stage of the strategy involves work to
25 be accomplished after a site is designated. It includes

1 requirements for development of an interim storage facility
2 at a specific site, and acquisition of waste acceptance,
3 storage, and transportation equipment and services from the
4 private sector.

5 The Office of Civilian Radioactive Waste Management
6 is planning to carry out its waste acceptance, storage, and
7 transportation functions using a market-driven strategy that
8 relies on competitive contracts with the private sector for
9 implementation.

10 In this privatization initiative, contractors will
11 perform Office of Civilian Radioactive Waste Management's
12 functions under the standard contract with the owners and
13 generators of spent fuel. They will then accept spent fuel
14 at storage sites as agents of the Office of Civilian
15 Radioactive Waste Management, and deliver it to a federal
16 facility.

17 Contractors would be compensated based on
18 performance of these services, and would accept financial
19 risk. Contractors would be encouraged to use innovative
20 approaches to improve efficiency, to solve problems, to
21 overcome obstacles to performance, and to lower costs.

22 We set out to meet these objectives in developing
23 the strategy and the plan: A practical and implementable
24 framework for success, maximum use of private industry
25 capabilities, expertise, and experience, to provide

1 incentives for innovative and cost effective solutions,
2 minimize DOE involvement in operational activities, encourage
3 utility cooperation and participation, and to use performance
4 based contracts. In other words, the contractors will be
5 paid based on delivery of services.

6 Contractors will be responsible for provision of
7 waste acceptance and transportation service to all purchasers
8 within a region, according to annual allocations in the
9 annual capacity report. However, contractors may, with
10 purchaser agreement and DOE concurrence, alter the order of
11 acceptance to achieve efficiency of operation or a lower
12 cost.

13 For example, contractors may work with purchasers--
14 and that's a technical name that really means the nuclear
15 utility that have standard contracts with them--anyway, work
16 with the purchasers to more efficiently move spent fuel
17 through the use of shipping campaigns. While annual
18 allocations may not be met, the contractors to meet all spent
19 fuel pickup requirements over a period of a few years.

20 The contractors would provide all necessary casks,
21 canisters, and similar equipment required for transporting
22 spent fuel from the purchaser's site, and they would also
23 conduct the actual transportation of spent fuel from the
24 purchaser's site to the federal storage facility or
25 repository, whatever it was. This includes provisions of

1 transportation carrier services, escort services, and
2 responsibility for communications and in transit monitoring
3 and reporting.

4 In addition, the contractors will be responsible
5 for the following: Acceptance of spent fuel as an agent of
6 the DOE at the purchaser's site prior to transportation;
7 provision of compatible storage overpacks and lifting
8 hardware for all canisters of spent fuel shipped to an
9 interim storage facility; determination of transportation
10 routes and for interaction with state, Indian tribes and
11 local governments to ensure acceptable routing; provision of
12 heavy haul transport from the purchaser's site, if required,
13 and for any heavy haul that might be required to go from the
14 rail head to an interim storage or repository facility.

15 Multiple awards are required. This will be the
16 first of several similar procurements covering waste
17 acceptance and transportation services to be provided over
18 several decades. To establish and sustain viable competition
19 for these procurements, multiple awards of contracts to
20 competing contractors are contemplated.

21 For these multiple awards, the country could be
22 divided into regions; for example, the four NRC regions that
23 exist today, with one contractor providing waste acceptance
24 and transportation services to all purchasers in that region,
25 with allocations in the DOE's annual capacity report.

1 Contractors may propose to service any number of regions on a
2 regional basis; however, to preserve competition, and to
3 ensure favorable pricing to DOE in the future, no single
4 contractor would be awarded more than a fixed, maximum number
5 of contracts. For example, in a four-region setup, no
6 contractor would be awarded more than two regional servicing
7 contracts.

8 Fixed-price type, performance-based service
9 contracts are anticipated. Incentives and flexibility will
10 be provided for contractors to improve efficiency, solve
11 problems, overcome obstacles to performance, and to provide
12 low cost services to the Department. Innovative arrangements
13 which result in reducing DOE risk or lowering costs will be
14 encouraged.

15 It is anticipated that contracts will be broken
16 into phases, with an initial phase for procurement of long
17 lead items, and for transportation planning activities, and,
18 also, to achieve operational readiness.

19 The second phase will be for the actual movement of
20 spent fuel from the purchasers' sites. The initial phase,
21 again, would be for a few years, at least three for
22 procurement of transportation and storage equipment, and
23 achieving operational readiness. The second phase would be a
24 multi-year service period; for example, five years for
25 completing waste acceptance and transportation services. A

1 multi-year service period allows the contractors the
2 flexibility to improve the efficiency of operations, and
3 reduce costs through campaigning of fuel pickups at the
4 purchasers' sites.

5 Expression of interest. We're planning a public
6 solicitation of expressions of interest and comments from
7 potential offerors and from purchasers to obtain comments on
8 the acquisition of waste acceptance, storage, and
9 transportation services. This notice will be published in
10 the Commerce Business Daily and the Federal Register, and is
11 planned for issuance in the very near future. I'll go ahead
12 and say probably during the week of May 13th, which is week
13 after next.

14 A pre-solicitation conference is planned for later
15 this summer so that we can discuss the approach further, and
16 receive input on our proposed procurement approach.

17 I'm going to shift gears a little bit and turn to
18 interim storage. It's a repeat statement, but I want to
19 emphasize that the Secretary has stated that the selection of
20 the candidate site for an interim storage facility should
21 await the results of the 1998 viability assessment of the
22 repository.

23 Work planned in the near-term, our first stage of
24 our overall strategy, is strictly non-site specific work
25 related to enhancing a NRC licensing interactions, and I'll

1 say a little more about those near-term activities later on.

2 We would only embark on the second stage of our
3 long-range contingency planning activities if legislation is
4 enacted that designates an interim storage site. The near-
5 term activities in the stage one certainly compliments our
6 long-term contingency plans.

7 Our contingency plans include a phased approach to
8 design, licensing, and construction of an interim storage
9 facility. This phased approach allows spent fuel waste
10 acceptance services to commence sooner through the deployment
11 of a simple facility, with minimum delays. For example, the
12 first phase of this contingency plan facility would accept
13 only canistered spent fuel.

14 In this conceptual development, we will build on
15 the existing facility designs that had been developed some
16 time ago for the MRS.

17 The interim storage contingency planning,
18 obviously, at this time, is fairly consistent with the
19 pending legislation, and is compatible with our
20 transportation planning work.

21 The second phase of an interim storage facility
22 would provide the capability, then, to handle uncanistered
23 spent fuel. The uncanistered handling facilities associated
24 or developed in the phase two would be constructed using a
25 modular approach; in other words, the modulars will be time-

1 phased to coincide with anticipated demand for uncanistered
2 spent fuel unloading. Again, we will use existing designs to
3 a large degree, previously developed for the MRS.

4 Going back now to the near-term activities, our
5 near-term activities would include development of a topical
6 safety analysis report to support resolution of generic non-
7 site specific licensing issues for an interim storage
8 facility.

9 The TSAR will be developed in phases to match the
10 phased approach for possible deployment of an interim storage
11 facility; that is, an initial phase then describes a
12 simplified facility that only receives and stores canistered
13 spent fuel, and then a second phase that describes the full
14 service capability of receiving both canistered and
15 uncanistered spent fuel.

16 Obviously, the potential benefits include the early
17 issue identification and resolution with the regulator,
18 increased confidence in the licensing schedule, and reduce,
19 hopefully, the NRC license review duration, and shorten the
20 duration of environmental data gathering if and when the site
21 is designated.

22 Issues that we plan to address in the TSAR include
23 long-term dry storage. Dry storage of spent fuel for time
24 frames longer than the 20-year license currently issued by
25 the NRC needs to be addressed, Seismic requirements, 10 CFR

1 72.102 identifies two seismic requirements for interim
2 storage facilities; for example, one for sites east of the
3 Rocky Mountains, and one for sites west of the Rocky
4 Mountains.

5 At the present time, the NRC is considering use of
6 a probabilistic approach for seismic site evaluation, and the
7 TSAR could address seismic concerns using this new approach.

8 Another area is off-normal recovery. The phase one
9 concept will not have recovery facilities, as only canistered
10 spent fuel would be received. The TSAR will address how off-
11 normal canisters will be handled. For example, we may just
12 be able to place them in a transport cask and satisfy the
13 requirement.

14 And then design basis accidents. The effect of a
15 canister drop at an interim storage facility needs to be
16 reviewed under a Part 72 license. This has not been
17 addressed independent of a Part 50 license at this time.

18 And then, in the phase two of this TSAR and
19 possibly a facility development, the dry, uncanistered fuel
20 assembly handling will have to be addressed.

21 Further, the Department will follow Reg. Guide 3.48
22 for development of the TSAR. Site environmental criteria
23 will be developed to envelope most areas of the continental
24 United States. The criteria will be developed using subpart
25 (e) of 10 CFR 72, along with other applicable guidance

1 documents; for example, previous design studies, existing
2 transportation cask and storage system certificates, and so
3 forth.

4 It is anticipated that the phase one TSAR will be
5 submitted to the NRC in 1997. After the TSAR is submitted,
6 normally, the NRC would issue a safety evaluation report upon
7 satisfactory completion of the TSAR review, and then the
8 safety evaluation report could be or can be referenced in a
9 subsequent licensing proceeding.

10 Since I have talked real slow, I'll summarize very
11 quickly. The waste acceptance and transportation activities
12 are fully integrated with interim storage contingency
13 planning and consistent with the Administration's position.

14 Near-term TSAR activities will position DOE to
15 respond rapidly, if necessary, and, obviously, at this time,
16 the funding allocations remain--keep the emphasis on the
17 repository site characterization.

18 Thank you very much.

19 DR. CORDING: Thank you.

20 We have a question from John Cantlon, Board.

21 DR. CANTLON: Dwight, you indicate that you contemplate
22 the private haulers being able to optimize their pickups, and
23 so on, taking some liberties with the Q, and, you know, the
24 flip side of that is the question of whether or not you
25 contemplate a similar flexibility among the utilities where

1 there might be a market in selling pickup rights so that one
2 utility could, in a sense, get out of the storage business in
3 order to close up.

4 Is that contemplated in your scheme?

5 MR. SHELOR: Well, actually, the utilities or the
6 standard contract holders have always had the ability to
7 trade these acceptance rights, and I would expect that they
8 would give that serious consideration when we get to the
9 point of starting to pick spent fuel up.

10 I don't want to be misleading relative to the
11 service contractors. I think one of the really important
12 aspects of this approach is that these regional contractors
13 have got a real job in logistics, planning, and management,
14 because they have to interface with the utilities. The
15 utilities normally are not going to want you on their site
16 before or during or immediately after a fueling outage, and
17 they have other requirements that they need to meet as to
18 when they could actually load spent fuel out, and there may
19 be a lot--well, the logistics and the scheduling are tough.

20 What we're going to tell, I believe we should tell
21 the regional servicing contractors is that that's the Q, and
22 you have to run the Q unless the utility agrees to change it
23 in that time frame. We can't leave it open-ended on both
24 sides.

25 MR. ARENDT: What responsibility does OCRWM have in this

1 proposed operation? And you might maybe put that chart back
2 up there, and I'd like to know where OCRWM's responsibility
3 starts and ends. Is it just at the repository, or is there
4 any dual responsibility?

5 MR. SHELOR: No. Obviously, we want to keep the dual
6 responsibility down. I think what really happens is we're
7 going to have the responsibility. We can share some of the
8 authority, but we're going to retain responsibility.
9 Nobody's going to let us off the hook that easy.

10 And, basically, if OCRWM is up here, and we have
11 these standard contracts, there are 72 of them with different
12 utilities and storage sites right now today, so we're kind of
13 the focal point. We have contracts with the utilities. We
14 plan to have contracts with these private sector regional
15 servicing agents so that they, then, would carry out our
16 responsibilities or functions under the standard contract to
17 move spent fuel from the storage sites to a federal facility.

18 MR. ARENDT: So the contract is with OCRWM?

19 MR. SHELOR: We have not made a decision yet. It has to
20 be, ultimately. We have not addressed whether or not we will
21 empower our management and operating contractor to let the
22 contracts, or whether it'll be directly with the Department.

23 DR. CORDING: Okay, Jared Cohon.

24 DR. COHON: Following up on John Cantlon's question and
25 your response with regard to the role of these regional

1 servicing companies, you didn't mention the public, and the
2 role that they'll play in the operations of these companies,
3 especially with regard to route selection.

4 MR. SHELOR: Well, right now, today, the routing
5 guidance of the Department of Transportation has HM-164,
6 which essentially designates the interstate highway system as
7 the acceptable routes for truck shipments. It also allows
8 the states to designate alternate routes in terms of route
9 selection.

10 I would expect that most of the shipments, the vast
11 majority of the shipments that would be involved in this
12 activity would be by rail. There are currently no comparable
13 DOT regulations for rail shipment, but it's not uncommon.
14 There are requirements for hazardous shipments.

15 The fact these regulations do exist, the NRC has
16 basically been designated by the Department of Transportation
17 to issue standards for radioactive waste shipments, and they
18 have, and that's under 10 CFR Part 71. Shipments have been
19 made for the last several decades. The safety record is
20 outstanding. There have been no significant incidents of any
21 kind, and I expect, on a relative scale, that the addition of
22 these shipments on an annual basis will not hardly be noticed
23 in terms of the overall hazardous waste capacity.

24 MR. COHON: Well, I'm not as sanguine. I think you're
25 going to have quite an interesting public relations problem

1 to deal with.

2 MR. SHELOR: Oh, that's absolutely true. I think
3 another key aspect here, as I mentioned earlier in our
4 objectives, is we need the cooperation and the assistance of
5 the utilities themselves in these regions. They have
6 established relationships with the local communities and the
7 states and the regions.

8 In addition, I didn't mention, but we have plans,
9 or are essentially trying to finalize plans for our
10 implementation of Section 180(c), which basically directs us
11 to provide funding to the states, Indian tribes for training
12 at the local level for emergency response, normal shipment
13 and emergency response. All of these things have to work
14 together to make this work.

15 DR. COHON: Just one last comment on that, and then
16 another brief question.

17 The public that these shipping companies will have
18 to deal with are public that largely is not benefited from
19 the powerplants from which the waste will be coming; that is,
20 if you look at a map, that large expanse from the Mississippi
21 River to Nevada, assuming that that's where it's headed,
22 there ain't no nuclear powerplants in that area, and these
23 are the people that will be having the shipments going by
24 them.

25 In any event, the question: One of your overheads

1 referred to the reduction of DOE risk through this private
2 sector arrangement. What's DOE's risk, and how does this
3 reduce it?

4 MR. SHELOR: Well, okay, they are basically--and we
5 haven't gone through this. We're in the process of
6 development Statement of Work and formulating a request for a
7 proposal, but there's two ways that one could finance this.

8 One way is for the Department to make progress
9 payments to a contractor to fabricate equipment that he will
10 need to transport this material. If that were done, and once
11 that equipment were fabricated, then, essentially, DOE would
12 own that transport cask, for example, and that's done in many
13 cases, but it requires a commitment of resources up front.

14 The other way to do this, and a very attractive
15 way, is to structure the procurement such that the contractor
16 can go to the financial market and basically borrow or obtain
17 financing to order the equipment, and particularly, the
18 reusable equipment, so that he would own it when he's done,
19 and then, basically, recover his costs through a lease
20 arrangement and providing services. That's the kind of risks
21 that we're referring to.

22 DR. COHON: Thank you.

23 DR. CORDING: Bob Williams, consultant.

24 DR. ROBERT WILLIAMS: Thank you.

25 I don't know whether this is a real or hypothetical

1 question, but is there a possibility of either a utility or
2 some organization such as the Mescolaro Indians having a
3 storage facility as part of this construct? Have you taken
4 into account something other than a federal storage facility?

5 MR. SHELOR: I haven't really addressed that, Bob.

6 Right now, anything is possible. The recent developments
7 with the Mescolaros have not been too promising.

8 MR. BARRETT: Let me comment on that, just so there's no
9 misunderstanding.

10 If there were to be a private storage facility, we,
11 OCRWM, would not be moving the material from reactor sites to
12 the private storage facility. We would move material from
13 facilities, be they reactors, be they private storage, into
14 the federal system.

15 Now, going with the market-driven might be more
16 compatible with national needs if we went this way, for other
17 people to use transportation, say, intrareactor, or something
18 like that, as opposed to the old paradigm, which was a
19 classical DOE contract, DOE-owned, contractor operated, so we
20 would be more flexible and more useful to the nation under
21 various other scenarios, but there is no intention on our
22 part that we would ever enter into, through this--that we
23 would enter into moving of spent fuels between reactors and
24 any private storage facility if there ever should be one.

25 DR. CORDING: Yes. John Cantlon, Board.

1 DR. CANTLON: Yes, let me follow up on that, Lake.

2 Does that mean that the private haulers,
3 essentially, would be free to contract for any other nuclear
4 hauling, in addition to the contract? So, they're free,
5 essentially, to do any other nuclear hauling they can get?

6 MR. SHELOR: They'd have to, you know, they would
7 contract to perform services that--on a schedule that we had
8 agreed to, but that would not prohibit them from hauling for
9 anybody else.

10 DR. CANTLON: Additional, right.

11 MR. SHELOR: That's correct.

12 MR. BARRETT: The answer's yes, they could.

13 DR. CORDING: All right. Well, thank you very much.

14 We have now time for Lake Barrett comments. You're
15 on for fifteen minutes on the schedule, and whatever time you
16 wish to have--

17 MR. BARRETT: Less than fifteen minutes, certainly.

18 Let me just make three minutes' worth here of sort
19 of my assessment of what we've done over the last couple of
20 days with you.

21 The focus of the meeting was planning and
22 integration on the program. That is a tremendous challenge,
23 even under normal conditions, for a program of this magnitude
24 and complexity. The environment that we are in is anything
25 but normal, I think, as we will all understand. I believe

1 the organization has responded very well under the
2 circumstances we've been in, especially considering where
3 this program has been over many years.

4 In the last three years since Dreyfus has been in,
5 and I was sent back to the program, you know, we've worked
6 hard to try and do that. I'm very proud of how the
7 organization has responded. It's sort of like steel being
8 forged to become tough. It's by fire and big hammers that
9 beat the steel into the toughness, and I think the program
10 has done very, very well.

11 I think sort of the key that we've tried to do is
12 to have a common vision from the very top--that's Dreyfus--to
13 the very lowest levels of a clerk somewhere in the program,
14 and if the directors will direct, you know, the managers will
15 manage, the engineers will engineer, the scientists will go
16 gather the data, interpret the data, and generate the models,
17 and the crafts persons will do their crafts jobs, be they a
18 laborer in the tunnel, or driving the tunnel-boring machine,
19 or whatever, the test to me, in my own personal metrics, is
20 when I see specific things happen that didn't used to happen
21 in the past, and it goes by this connectivity from the top to
22 the bottom.

23 It's easy to talk about arrows going back and
24 forth, and in the iterative process where the bottom's up, is
25 happening simultaneously with the top down, and it iterates

1 back and forth. As the top says, "Can you do this?", the
2 bottom says, "No, I can't do that, but I can do this over
3 here," and then the top will then decide, "Well, maybe I can
4 do it that way," and it's an evolution where everybody is
5 participating in the common whole.

6 And the bureaucracy that John talked about is an
7 important part of a disciplined method of change. As we
8 change to the external environment around us, and the
9 internal things that we find inside, the bureaucracy works
10 through the waste isolation strategy, which then gets
11 transformed working with the total performance assessment as
12 to what are the really important factors, that get translated
13 down through the TRW team, into the work plans that actually
14 define the deliverables, and then our control systems kick
15 in, that we will then have defined deliverables that are
16 written down as to what their scope is, what their schedule
17 is for deliverables, and what the cost accountability is, the
18 financial accountability of the managers delegated down, and
19 good reporting systems back so everybody knows where
20 everybody else is at one time.

21 We've worked very hard to put these together. It's
22 theoretical stuff, but the key, to me, is when I see the
23 fruits of those energies that everybody is doing. An example
24 of one is Chlorine 36 that's been discussed here today.
25 Through the formulation of the waste isolation strategy as to

1 what are the important parts, focusing on water movement, the
2 driving of the tunnel-boring machine that Rick and his people
3 have done, which, the tunnel itself is not important. It's
4 just the mechanism as, I think, we mentioned here today, to
5 allow the scientists to do the science down in the mountain,
6 so we'll be focusing on our common vision as to how well this
7 mountain and its engineered barriers will be able to isolate
8 and contain and have a controlled release of the material
9 over time, said we needed to do that, get information like
10 the Chlorine 36.

11 So, what we did from the top, for example, is we
12 asked to move several millions dollars--four million was the
13 number--from what was called infrastructure accounts into
14 science accounts, and when we did that, one of the things
15 that Susan and Dennis and the scientists said, "We really
16 want to do more Chlorine 36." I hardly know what Chlorine 36
17 is, from the Director's office, but, nonetheless, they do,
18 but yet, by asking the people to shift money into those
19 accounts, we were able to advance that, and I think that's
20 healthy, and I think that's good that we do that.

21 We've advanced the thermal test on the small--the
22 small-scale test dates have been advanced because the
23 scientists said that was important, and the modelers said
24 that was important, and when Rick was able to mine those
25 alcoves faster with the Alpine Miner, we had to shift money

1 to allow Dennis and Susan to get the scientists advance money
2 in '96, and we did this in a very constrained funding thing.

3 These are just examples where I see the actual work
4 at the deck plates, as we used to say in a former life,
5 really starting to count, and that's where it does count, and
6 it's not just intra-Yucca Mountain. I think it's across the
7 program.

8 We didn't talk much about it here, but we have a
9 topical safety analysis report to the NRC on burnup credit,
10 and the burnup credit works in transportation, it works in
11 storage, and it works in Yucca Mountain in the disposal
12 criticality issues.

13 So, I am very pleased at what the TRW team, as they
14 pull together the various contractors, and the DOE people
15 being responsible owners of this program have come together
16 in a much more integrative and a planned manner. We have
17 many improvements yet to do, but I'm very satisfied with what
18 the team has done, and I think some credit goes to the Board,
19 who has basically constantly been on DOE's case about
20 improving its integration and its planning, I think, since
21 its conception and some of its first meetings.

22 So, I think that has been a driving force to help
23 us meet the challenges that the environment is putting on us,
24 and I believe we have many more challenges in the future yet,
25 but I believe, as the going gets tougher, we will get

1 tougher, and we will get further ahead of the curve, because
2 we've never really, historically, been ahead of the curve.

3 But, I am very optimistic for the future as we go
4 forward from here, so that's sort of my personal take as to
5 where we are at this time.

6 DR. CORDING: Thank you very much.

7 Do we have some Board response or comment or
8 questions?

9 DR. LANGMUIR: Don Langmuir, Board.

10 Lake, we went over the thermal loading issue and
11 how that's going to be pursued in the next few years rather
12 quickly, and, I thought, too quickly early in the meetings,
13 and, of course, it's been an overriding concern of all of us,
14 and I think it still remains that until we're persuaded
15 otherwise.

16 Maybe the answer's going to be it's a political
17 thing at this point, but we have a two-year test in mind
18 coming up, one year warm, one year cold, and we were never
19 told that that was going to resolve the major questions
20 regarding the effect of thermal loading on performance of a
21 repository.

22 Can you candidly tell us what's gone on, and why,
23 all of a sudden, this is our only goal at the present time?
24 We aren't looking beyond that in terms of anything that's
25 codified as a plan with regard to looking at thermal loading

1 effects on a repository, unless I'm wrong.

2 MR. BARRETT: It's my understanding--and I have very
3 limited knowledge of this--is that the emphasis on the
4 thermal issues over the next couple of years are very
5 important to the engineering design aspects of the '98
6 assessment, as to what can we do, how much material can we
7 put in that mountain, but it does not stop in '98 or over the
8 next two years.

9 There will continually be work refining the
10 engineering models as we go forward, but we should be able to
11 get the bulk of the engineering technical feasibility of
12 building the model and address that issue very well in the
13 next couple of years, but it's not all done at that point,
14 and Rick, if there's something that you would like to add, or
15 something I've missed or have misstated, please fix it.

16 MR. CRAUN: Richard Craun, DOE.

17 There's two different elements that I think you're
18 touching upon. One is the thermal test, and one is those
19 performance elements that are keyed or driven by temperature,
20 humidity and temperature, corrosion rates, temperatures, et
21 cetera.

22 A lot of those models are not two-year models.
23 Those tests are going to go well beyond VA, so the two-year
24 time period, as it relates to some of the tests that we're
25 putting together to support our model development for TSPA

1 and for the waste isolation strategy are much longer than a
2 two-year period.

3 I'd turn to Dennis to address the thermal test
4 alcove itself, as far as it's period.

5 DR. LANGMUIR: Well, let me re-craft the question a
6 little bit, and focus on one of my concerns.

7 My sense had been that these were going to be
8 critical to the determination of whether you went with a low-
9 loading or a high-loading repository. Performance, which
10 would be a consequence of that choice, was going to have to
11 be key to the choice, and it sounds like you've almost made
12 your choice of thermal loading, at least for the time being,
13 without having the insights you might have gained or might
14 gain from a long-term set of tests.

15 MR. DENNIS WILLIAMS: Rick says this is probably leading
16 into thermal testing, like we talked about a little bit
17 yesterday, and for the purposes of this schedule that we were
18 dealing with, to go through viability assessment and get to
19 the license application, I think a lot of the problem has to
20 do with that bar where we have a two-year test planned.
21 That's the length of the activity bar, and I think that's
22 giving you some concern. It's given a lot of our people some
23 concern.

24 But, again, as I mentioned yesterday, we're
25 planning on turning the test on. We don't turn the test off.

1 We evaluate it annually to see where it goes, to see if it
2 goes according to our predictions.

3 One of the predictions that I showed today had to
4 do with the Buscheck prediction, and one of those was out to
5 four years, so we're looking out at that distance in time.

6 Also, recall that we have our thermal testing
7 strategy. The drift scale was one test in that thermal
8 testing strategy. The next test on that that we are still
9 discussing, possibly in a performance confirmation period, is
10 that long duration large scale.

11 Exactly how we go about implementing a test like
12 that, when we would implement a test like that, whether we
13 could possibly use one of the early emplacement drifts with,
14 I hate to say this, but actual spent fuel in it as part of
15 that testing program, I don't think we know for sure yet, but
16 we know that we had to get a large-scale test started,
17 started as early as possible. We elected to go with the
18 drift scale. We elected to set it up on an activity bar,
19 because of scheduling, and we have committed to reevaluate
20 that on an annual basis to see where it's going and whether
21 or not we should cut it off, let it run longer, or move in to
22 the large-scale, long-duration test.

23 That's basically where we're at in our thinking on
24 it.

25 DR. LANGMUIR: Is the drift-scale test you're proceeding

1 with now so designed that it would give you the kinds of
2 answers you need to have regarding a thermal loading choice?

3 MR. DENNIS WILLIAMS: It would give us some of the
4 answers.

5 DR. LANGMUIR: Is the flexibility there anymore in a
6 thermal loading choice? You've already decided on one.

7 MR. DENNIS WILLIAMS: No. We've decided on that one.
8 We think that there are things--it's going to give us
9 information on a lot of things; however, we still have
10 people, we still have part of our group that is standing out
11 there saying, "Hey, it's not the large-scale, long-duration
12 test. It is not the big, big test, which would be the best
13 thing that we could possibly do."

14 I hate to say funding constraints, but, right now,
15 the funding constraints say, "You aren't going to be able to
16 field that real big test early." We dropped back from that.
17 We're trying something a little different. We hope it
18 works. If it doesn't work, then we'll be going back to Lake
19 and others and saying, "Hey, guys, we took a chance on this.
20 It didn't work. We need to bail into the bigger test."

21 DR. CORDING: I think that it will be interesting to
22 discuss some of these further, also, in the session this
23 afternoon. I think we want to discuss some of this, just how
24 do we look forward to decisions that are made after the
25 viability assessment, when you're in a situation where you

1 don't know exactly what funding is, and the Board is in a
2 situation where we don't know exactly what can be
3 accomplished, and so, I think those are things that the Board
4 is interested in, and I know you are concerned with.

5 We very much appreciate the presentations we've
6 had. We're going to have the session, the roundtable session
7 this afternoon. We are going to take one hour and ten
8 minutes for lunch, as planned, so we'll be reconvening here
9 at five minutes after one, and we would appreciate the
10 speakers and people that are involved here to be with us in
11 the roundtable, as well as the Board, the Board members and
12 consultants and staff.

13 So, thanks. Five minutes after one.

14 (Whereupon, a lunch recess was taken.)

15

16

17

18

19

20

21

22

23

24

25

1

2

3

AFTERNOON SESSION

4 DR. CORDING: Let's get ready for the roundtable
5 discussion; speakers, Board, guests.

6 Well, we're pleased to begin our discussion this
7 afternoon, and we very much appreciate learning more about
8 the way the program is being focused. Waste isolation
9 strategy is evolving. Much is being accomplished in the
10 exploratory studies facility in real time, and we're learning
11 about that, and that's very important; the flux of the
12 mountain, what we're finding across various fractures,
13 really, a tremendous increase in understanding of what is
14 occurring at the site in terms of the behavior of the site
15 and flow in it.

16 Obviously, the project is moving ahead
17 simultaneously in several areas; in the areas of exploration
18 testing, working towards that '98 viability assessment. Now
19 we're focusing on designs, getting ready for the designs for
20 license application.

21 There is a convergence here, and it reminds me
22 somewhat of a situation we have in Illinois when we're going
23 down a country road. My wife will ask me do I know where I'm
24 going, and they're all either east/west, north/south, and
25 usually, you can tell pretty much where the sun's coming and

1 which way you're going. You may not know exactly where you
2 are, but you know where you're going, and then you come up
3 towards a crossing and you see this freight train coming
4 down, and you know you're on the right road, and the big
5 question is, "Can I get there before the train does?"

6 For those of you who perhaps live on the coast and
7 don't understand the Illinois topography, it's somewhat like
8 Jean Younker's and other sailors in the group here, who are
9 on a course, and they're on the right course, and they're
10 watching that angle between not a freight train, but a
11 freighter, and trying to make sure that angle doesn't close
12 on them as they come across this path. And if the angle
13 starts to get smaller, they're going to have to do something
14 to tighten things up and improve the trim, and then, of
15 course, they're always concerned for what's going to happen
16 with the wind. Is it going to shift?

17 And so, I see some analogies, and perhaps you don't
18 want to carry them too far, but I see some analogies with the
19 program, and we, as the Board, I think, are very much wanting
20 to be of assistance in helping this program get to the point
21 of being able to establish site suitability and to assist in
22 any way we can as a Board to get to the technical conclusions
23 that allow you to make that crossing safely, so we appreciate
24 the participation here of the people in the group.

25 We really want to discuss any of the topics that

1 we've been considering the past few days, or things that are
2 of concern directly to those of you who are on the panel
3 here.

4 The primary item is: How do we put all this
5 together; the design, the science, the performance
6 assessment, the quality issues? How do you put all that
7 together, the management, and come up with results? And, I
8 think, looking at various issues, the corrosion issue, the
9 waste isolation strategy, and how does that relate to defense
10 in depth, the thermal issues, and packing very many different
11 areas, the backfill issue, ambient moisture of isotopes, how
12 do you explore for that, how do we evaluate what the flux is
13 in faults and adjacent retardation, the other things that the
14 natural environment can do or is expected to do for the
15 isolation, those are all issues that are so heavily dependent
16 on this integration, and we would like to be discussing that,
17 then, in our time together here this afternoon.

18 In terms of planning, I intend for us to terminate
19 this portion at close to the schedule we had, by three
20 o'clock, certainly, so that we can make 4:30, 4:45 type of
21 commitments we have for flights out.

22 The other thing I'd like to do is introduce several
23 individuals who were not making presentations, but are part
24 of this panel, and so, one is Margaret Federline. We're
25 pleased that you're with us.

1 MS. FEDERLINE: Thank you.

2 DR. CORDING: And she is Deputy Director of the Division
3 of Waste Management of the USNRC, and she's been working in
4 industry and science work before joining, several years ago,
5 the NRC.

6 We also have with us Bob Williams. Bob has been in
7 many of our meetings over the years. He was with the
8 Electric Power Research Institute and was, at that time,
9 Manager of High-Level Waste and Transportation Technology.
10 He's now acting as a consultant of Williams Technical
11 Associates, so we're pleased that you're with us, Bob, also.

12 MR. ROBERT WILLIAMS: Thank you.

13 DR. CORDING: We'll be asking them to make some
14 introductory comments, and then, also, we have with us Warner
15 North, who is a former Board member, on my right, and he's a
16 consultant to us at this point. We'll be asking him for some
17 comments, as well as Dennis Price, and Dennis Price was,
18 again, a Board member, and is presently a consultant to the
19 Board, further to my right.

20 So, I think perhaps we'll proceed in that order,
21 with some introductory comments from those individuals as
22 they wish to make them, and then we'll go to a somewhat
23 unstructured general discussion of some of these
24 integration/interaction issues.

25 So, Margaret Federline.

1 MS. FEDERLINE: Thank you.

2 We appreciate the opportunity to come and meet with
3 the Board today, and, particularly, the opportunity to hear
4 DOE's new integrated and structured program.

5 We're really encouraged by what we hear about the
6 improved focus and integration between site characterization
7 and design, performance and regulatory compliance. We
8 believe that a focus on the key hypothesis for waste
9 isolation is an appropriate approach at this point in time.
10 In fact, in early 1995, NRC restructured its own program in
11 this regard.

12 We are currently focused on what we refer to as ten
13 key issues for safety at the Yucca Mountain site, so we have
14 made many similar changes to those that are described by DOE
15 today, and I think the topic came up earlier in the meeting
16 of, can bureaucracies change? And I think this program is a
17 good example of how there was a recognition that there needed
18 to be a change in the way the program was being organized,
19 both on the developer and the regulator side, and I think
20 some of those changes are being made for the better.

21 We, at the NRC, are focusing on vulnerabilities in
22 the waste isolation strategy, because we feel that that's
23 appropriate for our role as a regulator, as the developer is
24 focusing on proving the positive hypothesis for waste
25 isolation.

1 One thing, as a result of the meetings we've heard
2 over the last two days, we would really encourage DOE to
3 finalize the waste isolation strategy and make it available
4 as soon as possible. One of our concerns is that it's going
5 to be very difficult to evaluate the effectiveness of the
6 program plan until the waste isolation strategy is made
7 available.

8 We applaud the integrated team concept of bringing
9 together site expertise with engineering and performance.
10 Back as far as the site characterization plan, the NRC had
11 commented on the need for improved focus, the communication
12 between the site folks and the design folks, and the
13 performance experts.

14 Now, we have also done this at the NRC. You're
15 probably aware that we conduct our own independent
16 performance assessment, and through the Center for Nuclear
17 Waste Regulatory Analysis, conduct some independent analysis.
18 We have also formed integrated teams, and we think that
19 that's the only way to go.

20 There are some drawbacks in that regard, because,
21 as we all know, those different disciplines have different
22 approaches to problem solving, so I think it's going to be a
23 challenge to use that approach, but I think we're convinced
24 at the NRC that that's really the only way to go.

25 If I had to talk about what our key concern is at

1 this point in time for the NRC, it's the need for DOE to
2 document the data and the assumptions and the decision
3 process for its key technical and programmatic decisions as a
4 basis for licensing. We believe that the integrated program
5 document is the way to go, the PISA, as referred to in the
6 presentations.

7 I guess our concern is that, from what we
8 understand, it's not going to be available until 1998, and we
9 would prefer an iterative approach of the PISA, starting out
10 with what level could be supported, but then continue to
11 refine that document to assure that there's a good flow
12 between the data assumptions and decisions.

13 Based on our current experience with iterative
14 performance assessment, we encourage DOE's use of consistent
15 and documented databases between design and performance. The
16 one thing that I did not hear a lot of is the documentation
17 of assumptions. We're finding in our own performance
18 activities that it's very important to decide upon a
19 consistent set of assumptions so that you're able to do
20 importance analysis as you move through the process, and
21 inter-compare the significance of relative processes and
22 events within the performance calculation, so we would urge
23 DOE to focus on that.

24 We share Dr. Langmuir's concern about DOE's plan
25 for thermal testing, and the planned two-year duration. We

1 believe that longer term testing is going to be necessary as
2 a basis for the choice of thermal loading strategy, and we
3 have met with DOE, discussed it in management meetings, and
4 are looking forward to an opportunity to be able to review
5 that thermal loading strategy.

6 Regarding the recent Chlorine 36 data, the NRC
7 staff has not had an opportunity to review the draft report
8 at this point in time, but we will be following the
9 continuing work and evaluating the significance of the
10 results when the work is completed.

11 We are pleased to hear that that LANL studies are
12 going to continue and be completed and reviewed, and that
13 additional sampling is planned to include other isotopic
14 analysis as well. We think that's an important confirming
15 technique.

16 We believe the hierarchal approach that was
17 discussed here, including process to total system PA models,
18 is very appropriate and sound. We're encouraged to see the
19 strong role of the subject matter experts in defining the
20 process level of models. We think that's absolutely key to
21 ensuring that all key processes and parameters are
22 represented in the model.

23 We also applaud the inclusion of disruptive
24 processes in the TSPA for the viability assessment, as well
25 as for the license application. That's going to be very

1 important.

2 Another concern, we're concerned about the trend
3 that we see to limit investigations of the geological setting
4 to the controlled area. Depending upon the high-level waste
5 standard that comes out from EPA, it could be very important
6 to do some additional site investigations beyond the
7 controlled area to understanding the appropriate boundary
8 conditions for the models.

9 And, finally, we recognize DOE's desire to evaluate
10 the viability of the site to realistically project costs and
11 schedules. We endorse that and think that will be a valuable
12 input for Congress. However, we think because of the tight
13 target that's been established for a licensing application,
14 that DOE needs to stay focused on licensing, and not depart
15 far from the licensing requirements.

16 In that regard, we also think that continued
17 interactions with DOE are extremely important early on in the
18 process, and we're trying to work out more streamlined, more
19 efficient ways that those interactions can be conducted, and
20 one of the main priorities of NRC's program at this point in
21 time is to bring feedback to DOE and the other parties on any
22 concerns that we have early on in the process so that
23 additional data could be collected, or the input could be
24 considered in the design of experiments.

25 Thank you.

1 DR. CORDING: Thank you very much. There's some good
2 items there, I think; interesting items, and important ones
3 that we need to be thinking about or remember as we continue
4 with the discussion later.

5 I'd like to go now to Bob Williams.

6 MR. ROBERT WILLIAMS: Thank you. I'll try to be brief,
7 and elaborate on these points in my letter to the Board.

8 First, let me compliment the DOE staff and many of
9 my friends of years standing for continuing to maintain
10 technical progress while restructuring the program and
11 reorganizing and downsizing. I think you folks are getting
12 pretty darn good at this. I think I've seen you do it four
13 or five times, and you reveal good practice.

14 I guess as one example, I was particularly pleased
15 to hear of the reprogramming of \$4 million from
16 infrastructure to study of the Chlorine 36 issue on short
17 notice. In a time of downsizing, it's refreshing to see that
18 there is some flexibility to cover new items.

19 I'd like to underline a couple of points that I
20 feel particularly strongly about, and most of you will know
21 why. One relates to the EPA criteria. I think it will be a
22 mistake of the first order, a historical mistake if you base
23 your evaluations on a 10,000-year cutoff, even if a
24 Congressional body can be persuaded to enact that this year.

25 The whole principle of the American judicial system

1 is that issues significant to safety have to be evaluated,
2 and I think you're going to have to figure out some way to
3 conduct an evaluation out to the time of peak dose. To do
4 otherwise is to lead the whole program down a primrose path,
5 and I'm sure that there's enough creativity in this group to
6 figure out a way to address that issue.

7 The second item I feel equally strongly about, and
8 that relates to privatization. Let me compliment on your
9 market-driven approach to spent fuel storage and spent fuel
10 acceptance. I think it's the only way to proceed right now
11 in times of reducing budgets.

12 The basis for my question earlier today is my own
13 premise, that I would not enter the business if I didn't have
14 control of my storage interface. I would not trust the DOE
15 to come up with storage while I was committing to delivery
16 schedules, so I would want to build a storage facility on a
17 federal site, and have that federal site be part of a buy-
18 back agreement at some date certain, like 50 years. I think
19 if you would structure your RFP in that vein, you might get
20 some major participants; for example, big utilities, or a
21 consortium of utilities and a transport company.

22 Finally, just a couple of points on integration,
23 then I'll save the rest of it for the roundtable. I've
24 watched four attempts at rebaselining. Rebaselining has the
25 effect of forgetting history and starting over again, and I

1 think, at this point in the project, it would be very helpful
2 to be talking in terms of, "We have spent \$3 billion, and we
3 still see \$5 billion to complete."

4 I think that would connote the long-term nature of
5 a 15- or 20-year construction activity, so I would hope that
6 the rebaselining does not result in resetting all of the
7 counters and making the presenters forget about the
8 accomplishments that they have made, and they are several;
9 the seismic and tectonic work, the volcanic work, the work
10 that went into getting permits to do all the on-site
11 activities, so I think that sort of presentation would
12 connote progress in a way that doesn't come across when
13 you're in a rebaselining mode.

14 I have one comment on design, and then I'll save
15 the rest of my notes for later. The mention of 11,000
16 drawings, 1100 specifications gave me shudders, because it
17 conveyed an order of complexity that isn't justified, given
18 the status of the design. I think the only way to manage
19 that amount of complexity is to make some design decisions
20 now--when I say "now," I mean by the end of this fiscal year
21 --and then proceed on a design basis.

22 If it were up to me, I would give the program
23 managers an incentive. For every 10 per cent you can cut the
24 drawings and specifications, you get a 10 per cent raise. I
25 think it's that important, because I've participated now on

1 some other DOE projects, where just managing the interface of
2 that complexity ties them in knots.

3 So, most of you who know me realize I have a dozen
4 other ideas to lambast you with, but I'll quit for now.

5 Thank you.

6 DR. CORDING: Thank you very much, Bob.

7 Let's go next with Warner North.

8 DR. NORTH: Thank you. It's a pleasure to be back here
9 after two years, and to see many old friends, and to see much
10 progress in the program.

11 Since I'm returning from this absence, I will
12 concentrate on, shall we say, the big picture views, and I
13 find much that's very commendable and a real pleasure to see.
14 It's great to see the evidence coming from the ESF, which,
15 while I was a member of the Board, we talked a great deal
16 about, what could be found down there, what we would observe,
17 and how it might be interpreted, and now you're in the middle
18 of it.

19 No Aztec princess has been found, but you did find
20 some bomb pulses of the chlorine. This will pose a very
21 interesting challenge to the scientists who will interpret
22 which of the models may fit that data, and how to include it
23 in the performance assessment.

24 I will add my voice to others commending you for
25 the four million reprogramming, and I'd like to hold it up as

1 an example, because I think that's really where the program
2 has to be. You have to be flexible, and you have to let this
3 evolve, rather than getting involved in very elaborate
4 rebaselining, where it appears that major things are being
5 thrown away.

6 Rather, you are making some adjustments on the
7 sails, in Ed Cording's analogy, to stay on course, making
8 adjustments to what the available science has now given you.
9 You also have adjustments you will need to make with regard
10 to the evolution of the regulatory criteria.

11 In the wake of the National Academy report, I will
12 strongly endorse Bob Williams' statement a minute or two ago,
13 that I think it would be a horrible mistake for you to cut
14 off at 10,000 years. I think you are simply going to have to
15 address those issues. You're going to have to address them
16 in a quantitative way.

17 Clearly, the level of precision may be less, but,
18 in a nutshell, I think you're going to have to deal with the
19 acts--this may be a topic we want to come back to later on in
20 the discussion.

21 I am reminded of the rethinking report from the
22 National Academy, which was done shortly after I became a
23 member of the Board. It stresses the need to expect the
24 unexpected, and maintain flexibility. Now that we're finally
25 to the point where underground construction is proceeding,

1 and we're learning a great deal, it seems to me that needs to
2 be reiterated.

3 I am very pleased to have heard the summary by
4 Steve Gomberg on the dialogue with EM with regard to the
5 defense waste. That strikes me as being an extremely
6 important step forward for the program, to be talking to your
7 colleagues in another part of the Department of Energy, and
8 investigating these rather complicated issues with respect to
9 the diversity of materials out there that the policy makers,
10 at some point, may want to put into Yucca Mountain.

11 From the performance assessment perspective, it
12 strikes me that some of those materials may be advantageous.
13 You have less actinides, and you have containers that may be
14 even more robust--vitrification, for example--and that may
15 give you some important credits. It might even lead to some
16 reconsideration as to whether, perhaps, Yucca Mountain might
17 be better suited to taking more than the 7,000 metric ton
18 equivalent. I'm still not sure, given the complexity of
19 these materials, how exactly that might be measured, but it
20 certainly seems to me an interesting area for a great deal of
21 further exploration.

22 The cost estimate for cleaning up the weapons
23 complex, last time I looked, was well in excess of \$200
24 billion, and there are a great many states with those
25 facilities who seem very anxious to get that material out of

1 their state and into a permanent home. It strikes me that
2 that is a very important policy context for proceeding with
3 Yucca Mountain, and the more you know about it, the more you
4 may be able to attract friends and supporters, as opposed to
5 detractors as your program proceeds.

6 Now, I'd like to make a couple of comments about
7 the Board's recent report on interim storage. I was really
8 pleased, and very impressed by the excellent work of that
9 report. Perhaps more might have been done to distance the
10 Board from some of the concerns of a few utilities about an
11 immediate problem with storage space for nuclear fuel for
12 that particularly plant.

13 Clearly, you didn't have an ability to address
14 those near-term tactical issues, but in terms of the longer-
15 term strategic issue, and the integration between the budget,
16 as allocated to interim storage and transportation versus
17 finishing what needs to be done in the characterization of
18 Yucca Mountain, I would very heartily endorse what the Board
19 did, and I think it is of great benefit to the Department of
20 Energy to have had the Board say those things.

21 The tightening up in the DOE program is clearly
22 something that needs doing. The Board's report pointing out
23 that the nuclear waste fund may be used up, and then some,
24 between development of Yucca Mountain and an interim storage
25 facility, I think, ought to give everybody some basis for

1 concern that money is going to remain extremely tight, and
2 extremely controversial, and that the program is going to
3 continue to be under great pressure to be lean and mean.

4 I like Lake Barrett's comment about, "We need to
5 get tough," and it strikes me that that's exactly what is
6 needed. It's time for the coach's speech to the team about
7 how these are very difficult opponents, and if we're going to
8 win, we've really got to get our act together. We've got to
9 think positive. We've got to look for opportunities. We
10 can't just do the same old thing, and my sense is you've gone
11 a long way in that direction, and I applaud this progress.

12 But, on the other hand, it strikes me that you've
13 got a long way to go. This is really a difficult situation,
14 and I will confess to being disappointed. I had hoped to
15 come to this meeting and hear the latest plans, and much of
16 what I heard, instead, was a plan for making a plan, rather
17 than the plan itself.

18 In particular, as Margaret Federline has already
19 noted, there isn't a waste isolation strategy there that her
20 agency can look at, or that those of us looking in from the
21 outside, from the TRB direction, can look at, and it seems to
22 me you really need that, and you need it with all possible
23 speed.

24 From that will be derived a plan for the design of
25 the repository, and I pick my words, because I don't think

1 you can design the repository until you know more than you
2 are going to know very soon on thermal loading and some other
3 issues. I would strongly endorse the comments already made
4 about the tens of thousands of drawings. I didn't see, in
5 this two-day period, a good sketch of what the design might
6 look like with some provision for flexibility that, as we
7 learn more about the science, whether that's the one drift,
8 two-year thermal test, or it's a period of decades, with
9 either real or simulated spent fuel containers numbering much
10 more than one.

11 It strikes me that you're going to have to evolve
12 in that area, but you need something to evolve against. You
13 need to be portraying a strategy, a way of thinking of how
14 you are going to do this, rather than making the material
15 available at the last minute.

16 Margaret Federline commented on the PISA becoming
17 available in 1998. It strikes me it is a very serious
18 problem for you that makes your job a great deal more
19 difficult if the integrative strategy appears only at the
20 last moment, supported by enormous amounts of detail. It
21 seems to me we're much better off if you bring forth a
22 strategy, you acknowledge the need for flexibility in the
23 implementation of that strategy, but you bring up now the
24 big, difficult issues on which there is going to have to be a
25 consensus that you have the right strategy, and that if you

1 don't get that well underway, you are going to run out of
2 time.

3 As I see it, you have two years to the viability
4 assessment, and a year after that to the major programmatic
5 decision to proceed with essentially the site is suitable,
6 and we're going to proceed toward a license application.
7 Certainly, the way I read the discussion and the legislative
8 proposals in Congress, you have a great many people that
9 you've got to convince that you have a good program, that
10 it's worth continuing to spend the money, and that there is a
11 good chance of success in having a home, not only for the
12 utilities' spent nuclear fuel, but also, all of that material
13 coming out of the weapons complex.

14 And I think a lot of people who are not close to
15 this feel that you have a very large burden of proof to meet.
16 That leads to my last major point.

17 I have the sense, listening to the discussion in
18 these two days, that much of your effort under the heading of
19 integration tends to be inwardly focused. The team is
20 talking to each other, improving its relationships and its
21 communications, all very commendable, but you have an
22 external audience that you have to deal with. It certainly
23 includes NRC. It includes the utilities. It includes a
24 great many interested and affected parties, some of whom are
25 represented here in the audience, and, basically, at some

1 level, they are going to have to understand. They may
2 disagree, but, basically, you are going to have to meet a
3 burden of proof as determined by people who, at this point,
4 don't know you very well, and so you're going to have to
5 practice communicating what it is you do, and why it makes
6 sense.

7 I'd like to focus specifically on the idea, or on
8 the expert elicitation. I heard that mentioned several times
9 by Abe as, "Here's how we might deal with difficult issues in
10 the performance assessment area."

11 My concern is that if you don't get a good start on
12 that and allow yourself time to do it, it may prove much more
13 difficult, and may be even a reason why you won't manage to
14 avoid that oncoming freighter.

15 The experience, I think, from the earlier exercises
16 in that area that I watched as a member of the Board, is that
17 it took several iterations before the experts really
18 understood what you were asking of them, why you wanted it,
19 and you could communicate back and forth in the same
20 language.

21 As the Board said a number of times when I was a
22 member, it would be an excellent idea for you to involve
23 experts outside of DOE and your contractors. You need to get
24 a buy-in, and an understanding by the greater professional
25 community, and I don't think the TRB is a substitute for

1 that. I think you've got to get out in the professional
2 society community. You've got to be working with the leading
3 experts in these various areas, and you've got to understand
4 their point of view and have them understand yours.

5 That's not a simple process. I realize the money
6 is extremely tight, but it seems to me it's really critical
7 to be able to spend those extra few thousands of dollars to
8 get the right people to come to your meeting, understand what
9 it is you need in the way of judgment, and then provide that
10 judgment to you while you still have the flexibility to
11 change and adapt accordingly.

12 I would also like to note the other exercises that
13 have been going on; the waste isolation pilot plant, and the
14 low-level waste site in California, called Ward Valley.
15 Since I've been sitting inside the National Academy lately on
16 the board on radioactive waste management, I've had a chance
17 to follow events in these areas more closely than, perhaps, I
18 did earlier, and it seems to me there are some very important
19 lessons to be learned there on the importance of performance
20 assessment, and the difficulty of going ahead with a program
21 based on performance assessment in terms of the understanding
22 that other people have of it, and the potential for
23 miscommunication and misunderstanding, particularly out there
24 in the public.

25 I think you can learn a lot from the successes and

1 failures of similar programs, and you should be studying that
2 very carefully, and laying plans for how, over the two to
3 three years you have before the next decision point, you can
4 have your team put on the best possible performance in order
5 to be successful in your endeavor.

6 DR. CORDING: Thank you very much, Warner.

7 And now, Dennis Price.

8 DR. PRICE: Thank you.

9 I'm not going to scatter my shots. It's a pleasure
10 to be back. I really appreciate the Board's inviting me back
11 as a consultant. I get to see everybody, and renew old
12 acquaintances, and so forth, and I've been away from the
13 program for a little while, and really enjoyed this
14 opportunity.

15 Yesterday, Abraham of Yucca Mountain talked of
16 plans to model performance of the repository in order to
17 predict host and engineered barriers' performance over
18 thousands and thousands of years.

19 I couldn't help but think that the Abraham of
20 Genesis, long ago, probably had no such ideas in his mind. I
21 suppose he did not classify the parameters of the geology on
22 which he stood, nor did he wonder if they were linear or
23 nonlinear over the next ten millennia, and I'd suppose he had
24 very little concept about 200 or 300,000 years, and that
25 earlier Abraham simply lacked our geonuclear perspective.

1 But, this is, indeed, true of all of our
2 predecessors, because, as John Cantlon said, this is a
3 prototype kind of thing, the first of its kind, so before we
4 pat ourselves on the back about our sophistication that we've
5 gained in the few thousand years since that first Abraham
6 stood on some mountain somewhere, and because of our
7 sophistication, venture to predict repository performance for
8 the next thousands of years, I think we need to face, frankly
9 and honestly, our readiness to do so. Is our science ready
10 for the production mode?

11 Yesterday, Paul Harrington said that if the DOE
12 goes to the NRC with the wrong product, then we are in real
13 trouble, or words to that effect. If science and engineering
14 are not prepared to adequately address the repository, then
15 the repository is not the right product at this time.

16 The skills and knowledge of some of our nation's
17 best scientists and engineers are on this project. If the
18 skills and knowledge of the best do not match the product,
19 then the product needs to be changed. Is science ready to
20 support the repository product as adequate for 10,000 years,
21 or, perhaps, if necessary, 200 or 300,000 years? Can the
22 scientific method rise to support hypotheses that border on
23 the everlasting? Can it be there by the year 2002?

24 The work of long-term futurists is in its infancy.
25 Can we reach into the future with our models? How can we

1 support the validity of long-term models that come from
2 relatively short-term data, in some cases? For example,
3 "long-term" thermal tests, that are really thermal tests
4 based on less than a half a dozen years.

5 In simple regression models for prediction, we all
6 know that you can get an r that's not significantly different
7 from zero if you sample way down in a narrow corner of the
8 range, which, in fact, is a function over a long range, where
9 you may have a function that is significantly there, and so I
10 think that it is, in general, very dangerous to project far
11 into the future from short-term databases.

12 We learned yesterday that at least one geochemist
13 is challenging the ideas about neptunium solubility. Is
14 geochemistry really at the point to be ready to be talking
15 about 10,000 years or long-term performance of a repository?

16 I raise the question: Will we be ready with enough
17 information about site-specific science, hydrology, in situ
18 corrosion processes, rock mechanics, site stability? Is the
19 present state of reprocessing ideas and technology sufficient
20 to advocate non-retrievability now? What will it be, that
21 idea, in 100 years or 1,000 years? Will nonproliferation be
22 revealed to be a myth that cannot and will not be reality?
23 Will energy needs or technology changes require future
24 retrievability?

25 Do we have the science and engineering for the

1 repository product, or is the product wrong? Why should we
2 be bound, at this time, to produce Dr. Brocoum's 10,000-year
3 product, or an institution's 200 or 300,000-year product? If
4 there is uncertainty sufficient to raise doubts about
5 validity, can we adjust the product to reasonable scientific
6 certainty, and should we do so?

7 If the DOE has embarked on a production mode
8 without the support of ready science, the product is wrong.
9 We should build what we know how to build, and not pretend to
10 know what we do not know. The long-term future is hard to
11 know, I think. The long-term direction was set by declaring
12 that we will solve this spent nuclear fuel problem in our
13 generation. That's a noble myth. The reality is that the
14 waste will require the attention of future generations.

15 We need to get off Cloud 22, there's a catch in it.
16 We need to plant our feet firmly beneath the ground, with
17 accessibility, retrievability, monitoring, and doors that
18 open and close until science and engineering are ready for
19 the long term. We should build what we know how to build.
20 When we decide to do that, we are ready for the production
21 mode. The science should match the product by changing the
22 product to be compatible with the state of science at its
23 best. To do others, may be to have a fatal flaw.

24 We are building something right now, but I don't
25 think, in the long run, it will be the repository that we

1 know of as now. That's a polite way of saying, do we really
2 know what we're doing right now? Should we be talking about
3 keeping packets open as long as possible, instead of closing
4 packets? Perhaps the greatest unpredictability, both short
5 term and long term, is human behavior, and human
6 intervention.

7 In the short term, we have already seen multiple
8 program directors--Dr. Dreyfus' tenure is already
9 exceptional--each changing the direction of the program
10 because they're directors, and institutional, political,
11 funding changes that affect the ability to pursue an
12 integrated program.

13 Russ Dyer spoke yesterday of the need to be able to
14 maintain a long-term schedule. In this case, long term
15 means, I think, over a couple of years, but this has not
16 occurred.

17 Given the unpredictability of human interventions,
18 and the interventions of human institutions, what can we say
19 or predict about the effects of the interventions of humans
20 and human institutions over the very long periods of the
21 repository existence? Perhaps these uncertainties are
22 sufficient at this time to warrant a reconsideration of the
23 product, because if the repository, as presently conceived,
24 is a wrong product, then we will have trouble in the near
25 future, or in the distant future.

1 Jim Carlson spoke of the many policy and funding
2 changes that he's observed as an OCRWM survivor. I think we
3 see Jim without much gray hair. We see a program that's
4 changed an awful lot, and yet, we're talking about producing
5 a product that will be almost unchangeable for thousands of
6 years, and the question I'm raising is, are we really ready
7 to produce that kind of product?

8 DR. CORDING: Thank you, Dennis.

9 We'd like to begin the general discussion on some
10 of these topics, and DOE's role. Certainly, we'd be
11 interested in discussing these or responding to some of
12 these. We did improve from freight trains to sailboats to
13 Abrahams, and so we can continue to advance here.

14 One of the things, I think, on the waste isolation
15 strategy, Margaret Federline brought up their concern about
16 having that prepared in a way that could be used, and I think
17 Warner North was commenting on that as well. Also, the waste
18 isolation strategy itself, much of it, in its early stages,
19 at least, was focusing on--or the developing strategy was
20 focusing on what is it going to take to get to a reliability
21 assessment?

22 And I think one of the things the Board is very
23 interested in is, as part of that overall strategy, is what
24 has to be done beyond that, and, particularly in the defense
25 in depth sorts of things, recognizing that a strategy may not

1 be strictly a linear strategy. You may have to have several;
2 some redundancies there that allow you to take into account
3 things that you learn as you develop.

4 But, anyway, let's go with comments on some of the
5 things that have been said, and perhaps starting with the
6 waste isolation strategy.

7 Russ, would you like to give us a little feel, at
8 this point, for what you see with the waste isolation
9 strategy, as how it's developing, or what your philosophy is
10 on that?

11 MR. DYER: Russ Dyer, DOE.

12 The Board has heard before at least the broad
13 outlines of waste isolation strategy, and it still centers on
14 five principal points. Now, in Abe's diagram yesterday on
15 the performance assessment talks, there were seven key areas
16 of performance assessment. They cover, roughly, the five
17 major things or components of the waste isolation strategy,
18 and different words are used by different people, but we all
19 characterize it as low influx of water, a robust waste
20 package--and I'm going to ask you to help me with that in a
21 minute--slow releases from the engineered barrier system, a
22 slow transport of radionuclides, and dilution of the
23 radionuclides in the groundwater system.

24 And, at a high level, I think there's agreement
25 within the project that these are the key elements that were

1 really in our program in the SCP. They've evolved over time.
2 We've changed some of the emphasis, but they still make up
3 the major parts of the multiple barriers that constitute this
4 system.

5 Now, whenever you get past that, then we get into a
6 question of, how much performance are you going to allocate
7 to, demand from, expect from, wish from different elements of
8 the system? And, let me throw something on the table that we
9 would like some feedback from both the NWTRB and also the
10 NRC.

11 One of the things going on right now has to do with
12 if we use the waste isolation strategy to help prioritize the
13 program, where do we put, allocate performance, if you will,
14 to the various sub-elements of the system?

15 In the engineered barrier system, let's say, the
16 waste package, if we're looking at a robust system and we're
17 looking potentially at a very long-term standard, 100,000-
18 year standard, how much--this is a two-part thing--how much
19 real reliance can you put on an engineered barrier system?

20 I'm sure Abe could crank in a number for a failure
21 mode for a waste package that would give us waste packages
22 that last 100,000 years. Does that really make any sense?
23 There's really not much data that supports that.

24 There's a certain amount of, I guess I'll go to Dr.
25 Price's comments, there's a certain amount of arrogance

1 that's behind that. I'll call it intellectual arrogance.
2 Can we really support that? What can we really support,
3 intellectually, technically, and, also, in a licensing arena?

4 Let me give you another example of some of the
5 things that are being debated now. We've had trouble in the
6 past in really justifying some of the geochemical elements of
7 the system as being the barriers in the system, because
8 there's a considerable amount of uncertainty with the
9 permanence, the location, the horizontal/vertical continuity
10 of some of these features.

11 Well, one way to perhaps get around that is to,
12 let's say, in the inverts of a tunnel, construct them out of
13 some kind of material that could give you an additional
14 geochemical barrier. It could be a diffusion barrier. It
15 could be some other kind of barrier. Does it make any more
16 sense to make an engineered geochemical barrier, take more
17 credit for that than from a natural barrier?

18 These are some of the things that are behind
19 working out the details of the waste isolation strategy. At
20 a relatively high level, we concur that there are certain
21 system elements that the system must rely on, will rely on.
22 Now, which elements are the really critical parts, and then,
23 how do you really fine-tune a program to really go after
24 those critical parts? And that's where the dialogue is going
25 on right now within the program. It's a very valuable, very

1 charged dialogue, but it's going to take awhile to come to
2 closure.

3 We'll be able to come out with something relatively
4 shortly that will be able to address, certainly, a level of
5 detail beyond what you will see in the program plan, which is
6 a page and a half or so, roughly. We'll be able to
7 complement that with the next level of detail down, but
8 you're going to see this as a continuing dialogue. This is
9 going to evolve just like the testing programs evolve. As we
10 find things, we're going to go back and revisit this. It's
11 not going to be a one-time through process; it cannot be.

12 DR. CORDING: Margaret Federline, you had said we need
13 to finalize it. You'd like DOE to finalize something and
14 make it available. What Russ is saying, is that compatible
15 with what your thoughts are? Russ is saying it's a document
16 that's still moving, or is not a document, it's a concept
17 that's going to change, and how does one resolve that?

18 MR. DYER: Well, I understand Margaret's situation, and
19 what we have to do is to get something out that--out on the
20 table for comments, suggestions on it, and it may be
21 something that has a consensus part, and one or more
22 dissenting opinions in the back of it, but to get something
23 out to stimulate the dialogue and the debate.

24 MS. FEDERLINE: I think we see the waste isolation
25 strategy as an evolving document that's going to depend upon

1 the analysis of uncertainties. The success in a licensing
2 hearing will come from identifying the uncertainties, and
3 compensating or having redundancies in the areas of greatest
4 uncertainty, and so, really, what we're looking for DOE to do
5 is put this strategy on the table so that we can identify
6 these key areas of uncertainty, and that we can begin to have
7 a dialogue.

8 DR. LANGMUIR: I guess I'd like to encourage the
9 dialogue by a question. It strikes me that these are perfect
10 kinds of questions to be quantified, if possible, through
11 TSPA, and Abe on the Mountain should certainly, I would hope,
12 have some thoughts right now, given that he's done TSPA.
13 TSPA should be providing some quantitative measures of the
14 importance of each of these, and, also, suggestions as to
15 which ones we need to focus on, and perhaps, as well, how
16 much we could gain from focusing on them. I'd love to know
17 to what extent we can get that now.

18 DR. CORDING: I think Abe wanted to say something.

19 DR. VAN LUIK: In fact, I can kill about three birds
20 with one stone here.

21 First of all, a comparison with the old Abraham is
22 unfair, because he had a performance assessment from God that
23 said, "Your progeny will be as numerous as the grains of sand
24 on the seashore," but let me say there's a big difference
25 between me and that Abraham. One, I am not a polygamist,

1 contrary to rumor; and two, I am not ready to sacrifice
2 anyone on my mountain.

3 Let me talk about something else. I happen to be
4 saddled, through Steve Brocoum, who is conveniently absent.
5 Actually, he had to meet Congressional staff members on the
6 mountain today.

7 I am saddled with the responsibility, which means
8 blame, for the WIS, and the way that I see what's happening
9 with the WIS right now is we are in agreement on what's in
10 the program plan. There's no problem. When you go down to
11 the next level of detail, there is a problem.

12 For example, on containment, everyone agrees that
13 containment is important. It's the duration of containment
14 that we can defend that's the issue, so it's the second level
15 down.

16 What's more interesting, though, is if you remember
17 the WIPP experience, when they first instituted their first
18 phase of the systems prioritization method, and we followed
19 that very closely because it was an interesting exercise of
20 taking performance assessment results to reorganize
21 scientific programming. Some of their scientific
22 investigators came to them and said, "But your models don't
23 properly account for my process. Your process level model is
24 wrong."

25 They actually made some changes in their models,

1 and these people were right. In the majority of cases, they
2 were not, and work was terminated. It was a very unpopular
3 thing to do.

4 We are having the same type of heated discussions
5 at that level within the Yucca Mountain Project. It is
6 nothing but healthy, because, I shouldn't say this, but, in
7 one case, I think they're right. We have not used the right
8 process level model to look at whether some things are
9 important, that, by using the equivalent continuum model that
10 we've used, we have dismissed.

11 So, part of the answer is to use total system
12 performance assessment in the prioritization of work. The
13 other part is feedback from the site program saying, "Is your
14 process level basis for that modeling correct?", and I think
15 that's the dialogue that's going on now.

16 In response to the real nature of these
17 disagreements--these are not just stovepipe disagreements.
18 These are basic, scientific disagreements over the
19 interpretation of what we have so far--we have reorganized
20 the WIS. We are in agreement at the top level that's in the
21 program plan, and what we are doing is putting a change
22 request in place to be approved by, hopefully, the AMs and
23 Russ Dyer to redo this product with representatives from each
24 of the larger functional areas, and to have a product out for
25 DOE review in the July/August time frame. It's slipped a

1 couple of months from the original schedule, but we think
2 this is such an important dialogue, that we need to do it
3 well, and we need to take it serious.

4 DR. CORDING: Thank you.

5 Warner had asked for a comment, and then we'll come
6 over to you, Pat.

7 DR. NORTH: Let me respond by encouraging further that
8 you are going to have these discussions and debates. It'll
9 be wonderful if you can get a consensus internally on these
10 issues, and so when you go out and you talk to the outside
11 world, you're all of one mind, you've all agreed on it, but
12 out there, they haven't participated in the debate. They
13 don't know the issues nearly as well as you do, having
14 polished your insight and understanding by having the debate
15 in the first place.

16 So, I'd like to urge that you open it up with
17 deliberate speed. Obviously, you can draw critics. You can
18 expose yourselves in ways that, perhaps, you don't want to,
19 but try to learn from the experience of WIPP and Ward Valley
20 in terms of how you can move some issues toward closure.

21 From what I have heard, the issue that seems to be
22 moving toward a reasonable degree of assurance that the risk
23 is small, and it's very well-documented, is the volcanism
24 issue.

25 There was a meeting two years ago that I attended

1 with the Board in which we were commending what a great job
2 DOE had done in that area, and now you're finally getting a
3 document out, putting that in a nice package that NRC and
4 everybody else who's interested can review, and you will
5 probably get criticized on it from a number of people.

6 Maybe, over a period of time, you can convince them
7 that you really thought about it carefully, and that their
8 criticism isn't on target, and that your analysis concluding
9 10^{-8} is really robust, and they should believe it, too, and
10 perhaps many of them will.

11 My concern is that there are so many issues on
12 which you have to do this, and when I hear Russ talk, "Well,
13 tell me what you need to do," I think the answer to that is
14 if you've got seven systems, you ought to be pursuing an
15 approach that all you need is four of those, and you get
16 performance that is quite acceptable.

17 If, in fact, there is some overall show-stopper
18 that might make the repository's performance in question,
19 even with all seven of these at some level, then that's the
20 one you'd better find out about very quickly and attack it
21 vigorously.

22 If you need three orders of magnitude on neptunium
23 because now you've got to worry about the actinides post-
24 10,000 years, that says that's an area where you better be
25 shifting money and shifting attention, just as you did on the

1 Chlorine 36, and the performance assessment, as we've
2 discussed many times, can be a guide to those issues.

3 I guess my sense is, what you need is a PISA
4 brochure laying out the big pieces of this. If there are
5 seven blocks, here's what they are, and here is, in general,
6 what they look like.

7 I reflect on the Swedish program. They had
8 documents like that out ten years ago, and they've been
9 iterating ever since, and as far as I can tell, they've
10 gotten a great many people within the interested and affected
11 communities in Sweden to understand the details of their
12 repository design, and then, as those details have been
13 shifting, there's been, shall we say, a progression of the
14 debate. They've got a long way to go, too. They haven't
15 settled on a site, and much may go wrong on their program.

16 But, in terms of my judgment, as an outside
17 reviewer, their act looks really tight. I go in and review
18 their performance assessment, and I have a deuce of a time
19 thinking of a question that they don't have a good answer to.
20 I would like to see us in a similar position shortly.

21 DR. DOMENICO: I think we understand the strategy.
22 Obviously, if we don't have any flux, you don't have any
23 problems, you don't need engineered barriers. If you have
24 much flux, you have a need.

25 I think what I was going to say is that I'm having

1 some problem with some of the conclusions that you've gotten
2 from, from running your models, and one of them which is when
3 you go to long time frames, say 100,000 years, it shows that
4 the Calico Hills is unimportant, retardation is unimportant,
5 and since you can't take any credit for it, it's not
6 important over the long frame. You don't have to look at it.

7 I think nature would like to take some credit for
8 it in the event that the 100,000-year framework is sort of
9 breached by the radionuclides themselves, so I think when you
10 come to those sort of conclusions easily from performance
11 assessment, where you say certain physical attributes of the
12 system that we all admired years ago no longer are important
13 and, therefore, not worthy of study, that's a little
14 troublesome, I think, in the sense of reality, because
15 looking at--you know, trying to predict over 100,000 years is
16 difficult. I think Einstein once said predicting is very
17 difficult, especially if it's about the future.

18 DR. VAN LUIK: If I can respond to that very quickly,
19 when I told Don Langmuir that there were certain issues that
20 I have some sympathy with, you have just put your finger on
21 the exact one.

22 When we look at the process level modeling being
23 done by Los Alamos, when they run their transport calculation
24 from the repository to the saturated zone for very long
25 times, including a million years, they do show influence of

1 certain processes that are more abstract models and PA have
2 suggested are not that important, so that is the exact issue
3 over which we are having some very warm discussions at this
4 point, and I think they're very healthy discussions, and I
5 think we will do the right thing.

6 DR. CORDING: That is part of that defense in depth,
7 literally and figuratively.

8 Rick Craun.

9 MR. CRAUN: I'd like to just address, just briefly, some
10 comments I heard on the engineering issues.

11 Engineering, right now, is very tied to the TSPA
12 analysis, the sensitivity studies. It is affecting our
13 design as we talk even today in areas of backfill, in invert
14 material, selection of materials of construction that we
15 might want to use in a repository.

16 It is not my intent, at this stage, to say all of
17 those decisions are behind us. I think they're in process.
18 As Margaret pointed out, in order for us to focus on a
19 license application in 2001, we do truly need to focus on
20 that, and the only way I do know how to do that is to lay out
21 a detailed schedule that will identify what the product is
22 that we're trying to build, or trying to create, the
23 engineering that we're trying to produce.

24 That must be balanced very carefully with the TSPA
25 process to make sure that we are building, or, excuse me,

1 designing--that's a better way to say it--designing the
2 correct product that can be usable. If, however, in my mind,
3 if we don't focus on trying to initiate that design, and lay
4 out those steps now, 2002 becomes impossible for me. It's a
5 very ambitious task now. To not start that layout of the
6 steps necessary to get there doesn't seem like success to me,
7 either.

8 Again, though, but it must be integrated with the
9 TSPA, and it's a balancing act, to me, and, right now, the
10 balance currently, there's a lot of interaction, a lot of
11 studies going on in engineering to make sure that we have the
12 short-term defense in depth.

13 Defense in depth gets very natural barrier to me in
14 the year, 300,000 years. There aren't very many of my
15 engineered products that are going to be around to help
16 neptunium, so my issues are much more short term.

17 Maybe my focus today, over the last couple of days,
18 has been too focused on a shift in focus to a design product.
19 I called it a production product. So did Paul. Maybe it's
20 really a design process that we need to initiate to try to
21 build a license application design, but the laying out of
22 that process is important for us to initiate now to attempt
23 to build that product by 2002, if all of the supporting
24 science will support that aggressive schedule.

25 DR. CORDING: Thank you, Rick.

1 Any comments on that? Warner?

2 DR. NORTH: As an emeritus, I'll be happy to debate on
3 that one, because I think what I'm feeling isn't there, is I
4 don't have the confidence that there is the flexibility to
5 proceed with the detailed design, and have the ability to
6 track the evolution of science as that may cause changes.

7 I think of it an analogy as commissioning a
8 building, a rather large one, and, at this point, I don't
9 really know what the shape of it is, and I don't know how
10 many offices it's going to contain, and when I hear you
11 propose to design, for example, the heating system, in gory
12 detail, I'm concerned that if we're locked into detail in
13 that area, will we have the flexibility to be able to
14 accommodate, for example, more or less offices in the office
15 building?

16 Now, maybe you can see that very clearly as to how
17 you're going to do that, that, in fact, one heating system
18 for an office building whose square footage and use have yet
19 to be determined will accommodate just fine, because you have
20 the flexibility to make modest changes that will make it
21 work, but you have to convince the rest of us, and I don't
22 think I'm going to be able to go through 10,000 drawings and
23 make any sense of it. I need the sketch. I need to
24 understand the basic strategy and be persuaded by a
25 relatively simple and easily digested argument that what you

1 propose to do is the sensible way to proceed with that aspect
2 of the design, and I think you should do that before you go
3 to the trouble of making 10,000 drawings.

4 DR. CORDING: Lake Barrett.

5 MR. BARRETT: Maybe I could try to comment on--bridge
6 this, because I think a lot of the discussion here on this
7 production and engineering is you're almost all in violent
8 agreement on this, but you're just looking at it from
9 different perspectives.

10 The overall sketch, I believe we're working on
11 that, and the conceptual, we have just completed the
12 conceptual design of the repository, documents about this
13 thick, that sketch out where we are, and Rick's people just
14 produced that last month, and I believe the Board has copies
15 of that, so we are working in the broad realm of things.

16 When we've used the word "production" for these
17 10,000 drawings--and I wish we wouldn't use the word
18 "production," because I think that connotates something
19 different in different people's minds--is what I believe they
20 are talking about is for a license application, which is a
21 documented, institutional process, where you lay out your
22 safety case, and your case to describe to the independent
23 regulators our ability to protect the environment and meet
24 the requirements, whatever they may be, is a very disciplined
25 process which demands written documentation. That is no

1 small thing, but it's not a detailed design that has
2 everything in it to build a repository.

3 I think Paul had mentioned, you almost need
4 hundreds of thousands of drawings to actually go build this
5 thing, so it's a lot of work, and it needs management
6 discipline in producing these documents, and you need to kind
7 of scope it and narrow down just to make the safety
8 environmental protection case that we'll have to, but we
9 don't mean to foreclose on all of the detailed design, but I
10 think some of the comments that Dennis made, staying within
11 the capability of science, that's what we are trying to do
12 with that, but it's not production, per se.

13 It's production of a safety case and an
14 environmental protection case which is really based upon the
15 waste isolation strategy, guided by the performance
16 assessment activities, with many iterative feedback loops as
17 we go through it, so I don't see there's a big disconnect
18 from a different perspective. It's just different people
19 looking at it from different perspectives, which is good. It
20 gives us a better corporate understanding of what it is that
21 we are all about doing.

22 DR. CORDING: Don Langmuir.

23 DR. LANGMUIR: Just coming back to Russ's list of five
24 components in the strategy, low water content, robust waste
25 package, slow releases from the EBS, slow transport of

1 radionuclides--if I can read properly--and dilution of
2 radionuclides.

3 I look at that list and I see two key directions
4 for site characterization and related work, and we've talked
5 about them for the last two days. One, again, is critical,
6 and that's the infiltration, distribution, and amounts, and
7 that's something, hopefully, we can get our hands on with
8 some very focused site characterization work, and maybe in
9 six months to a year, through isotopy and working together
10 between the transport modelers and the geochemists.

11 The second one is a killer. We've been bypassing
12 it the last two days, and that's thermal loading. It cross-
13 cuts every item on that list, and until you know what it's
14 going to be, or you've thought about, you're going to have to
15 write a strategy that incorporates both low and high, and
16 doesn't really resolve anything yet. At least, I don't know
17 when you're going to resolve it, but without doing some work
18 to know what it's effect will be.

19 You know it's going to impact every single item
20 there. You don't know exactly how. Some you can guess more
21 than others, but they're guesses, and so, what's the strategy
22 going to say that doesn't leave a lot of gaps because you
23 haven't resolved the effect of thermal loading on each of
24 those items?

25 MR. ROBERT WILLIAMS: Ed, if I may?

1 DR. CORDING: Yes. Bob Williams.

2 MR. ROBERT WILLIAMS: I'd like to perhaps help DOE
3 respond to that question, and to the challenge posed by
4 Dennis Price. I always never feared to tread where angels
5 fear to tread.

6 It seems to me that the way we answer Dennis's
7 question in its broadest context, is we had, basically, two
8 strategies in any design. You proceed with a very
9 conservative design, and where you don't have data, you
10 proceed with a conservative hypothesis that will be validated
11 by data that you get after you start working, and that's
12 where you have to get the regulators to buy into it, and
13 that's what people have variously called a phased, or a two-
14 step, or a multi-step licensing process.

15 Secondly, you need some way that solaces the
16 public. You need to--and, ultimately, in the repository
17 game, that has been retrievability. You promise if all this
18 turns brown and icky, that you're going to pull out of there,
19 and that there will be no long-term harm done, and that's
20 what's called retrievability.

21 Now, superimposed on that, I would like to suggest
22 that your waste isolation strategy is really an issue of what
23 we do now before the viability or suitability decision, and
24 what we plan to do later, after a viability or a suitability
25 decision, and what we do later is confirmatory testing based

1 on confirmation of the conservative hypothesis that we went
2 in with.

3 Now, I think your whole discussion of waste
4 isolation strategy would be clearer, and you wouldn't have
5 warfare among the troops if you would agree that these are
6 all the tests we're going to need some day, and some of them
7 we're going to do up front, before suitability, and some of
8 them we're going to do later, after suitability. Some, we're
9 not going to do at all, but at least have the full suite of
10 issues on the table.

11 DR. CORDING: Thank you.

12 DR. LANGMUIR: See, they've been taken off the table.
13 That's why I'm moaning and bitching, because they were on the
14 table about six months ago.

15 DR. CORDING: Okay.

16 MS. FEDERLINE: This is exactly our concern in the
17 thermal test area. We would like--and Bob has talked about
18 phased licensing. We see the normal licensing process as
19 using the confirmatory items. It did in reactor licensing.
20 We know that there are going to be uncertainties at the
21 construction authorization stage, which we're going to bound,
22 but the regulator wants to have confidence that a test
23 program is in place that's going to secure the necessary data
24 by the time that it's needed, and I think that's what we're
25 feeling insecure about.

1 We're hearing about a duration of a two-year phase
2 in thermal testing, and I think Dennis has indicated that
3 there is no predetermined cutoff to that test, but I think
4 what we would like to see is more vision, that, yes, DOE
5 realizes that this long-term test data is going to be
6 required eventually, and sort of an acknowledgment that over
7 some period of time, the confirmatory items are going to be
8 collected.

9 DR. CORDING: Thank you. I think that's a feeling the
10 Board has had, in looking forward to when the viability
11 assessment time comes, how would we be looking at it at that
12 time, and having--even though we need flexibility, having
13 something that's there that says, here is how we're
14 approaching this, a plan, and I think part of it is, you
15 know, we've been focusing on '98 because that's the nearest
16 date and you have to focus on that, but I think I sense that
17 you are starting to look a little more broadly, a little
18 further down, and I think that point is very good from a
19 perspective I've seen of my own concerns with regard to the
20 strategy.

21 Russ.

22 MR. DYER: Let me follow up a little bit on some of the
23 previous conversations.

24 As the program has evolved over the past five or
25 six years, it has obviously moved from a very ambitious

1 program that did a lot of things in a linear sequence, a
2 logical sequence, and we now have a program that has a lot of
3 things going on in parallel. It is a riskier program,
4 admittedly, and the nation, as a whole, has told us that
5 they've been willing to underwrite that risk.

6 We think it's still a viable program, but the key
7 is that you really have to have these meaningful checkpoints
8 along the way, where you really stop and check, make sure
9 that you're ready to go on to the next step.

10 One of the big steps that we have coming up is this
11 thing called a viability assessment, and this is going to be
12 one of the first times where we've put together a common
13 basis. This is a repository design, a repository design, not
14 necessarily an optimized repository design, but this is a
15 repository design. This is a performance assessment that
16 incorporates this repository design with what we know about
17 the behavior of the natural systems at this time. It's our
18 best guess of how this thing will perform.

19 That's going to be the launching point, really, for
20 what we do next. We may be able, at that point, to go
21 directly into a licensing mode. We may not be able to. I
22 think we're reasonably confident that things look good now,
23 but you can't close out the eventuality that something's
24 going to come up. It's just part of the reality of this
25 project.

1 DR. CORDING: Thank you.

2 Pat Domenico.

3 DR. DOMENICO: Back to thermal loading, one case for
4 testing, in general.

5 We seem to think that if we really want to know
6 something, all we have to do is run a test. That's nonsense.
7 I think we've demonstrated this morning, you wanted to know
8 something about the dilution potential of the rocks, so you
9 put something in and you lose 80 per cent of it, so, you know
10 nothing about the dilution potential.

11 We seem to think that we can run a thermal test and
12 design a thermal load, and we have to ask ourselves, what are
13 we going to observe during that test? Maybe, with luck,
14 we'll observe some moisture movement, maybe some response of
15 the rocks, but I don't really think that out of any length of
16 thermal test will you come out with a definitive thermal
17 load. I frankly think the thermal load is set. I think it's
18 going to be a high load, and it's been decided some time ago
19 that it's going to be high thermal loads, and I do not
20 believe that thermal test is going to give you information
21 where you can say, "Ah-ha, now I know what the effect of this
22 load will be." I don't believe so.

23 Like I said, if we want to know something, we think
24 all we have to do is run a test, and there are some hidden
25 details that we're never going to measure, never going to

1 see. It's called hidden geologic detail. I'm sure we've all
2 heard of it before. That's my sermon, Ed.

3 MR. DENNIS WILLIAMS: Dennis Williams here.

4 Perhaps one correction, sir. We lost 70 per cent
5 of the tracer, not 80, but we don't know where it went.

6 DR. CORDING: I understand Pat's perspective, and I
7 think Pat's statement, to me, means that we don't count too
8 much on the tests, but it doesn't mean we don't perform the
9 tests, and I think we have one program, which has, late in
10 the program, and we're moving ahead faster than most other
11 nations in coming to a decision on a site, and we have had
12 less opportunity to do the sorts of testing that others have
13 done.

14 Some people have done testing that, perhaps, you
15 know, may not be critical to their programs, but, certainly,
16 I think, you know, I see a need to get in there and do some
17 of this, but to count too much on it--because a lot of
18 insights that we can get--and our models are limited and
19 don't describe, you know, tests only give us a view of
20 reality through the instrumentation itself, which is limited,
21 and so, obviously, we're working on a time frame on a scale
22 that's obviously short, so all those things we have to look
23 at, but there's a lot of things we need to be doing, I think,
24 to put it together so we really have a good perspective.

25 DR. DOMENICO: I agree. You should get in there and do

1 something, I think, but, you know, when I read things like
2 the testing is going to provide us with thermal loading
3 alternatives, we're not fools. Yeah, the testing will help
4 you out on the mechanical properties, but you could do that
5 in a laboratory just as easily, so I don't really think
6 you're going to have a test that's going to follow fluid
7 movements around and show the umbrella effect and all, and
8 ponding up above, all the things that people are worried
9 about. You're not going to see that.

10 DR. CORDING: Okay. I'll discuss it later with you,
11 Pat.

12 John Cantlon wanted to comment, and we have others
13 here.

14 DR. CANTLON: I wanted to sort of put us back on the
15 track of the subject of our meeting, which is the
16 integration. We can get mired down in the debate of these
17 details, which those debates are going to be here ten years
18 from now, I think.

19 The Board has asked, as Lake Barrett acknowledged,
20 that DOE show us the evidence of trying to pull this together
21 around a waste isolation strategy that meant something, and I
22 think I'm very pleased to see the kind of synthesis that's
23 underway. It clearly is an iterative process.

24 Everybody recognizes that this is not a production
25 item we're into. It's a prototype. It's an emerging thing,

1 and, like in all prototype operations, whether you're
2 building space vehicles or carriers or whatever, whenever
3 you're in a prototype situation, you have two giant hurdles.
4 One is keeping the funding going, and the other one is
5 making sure that the design is not going off in a direction
6 that is an irretrievable direction, and can be brought back
7 into the central focus.

8 As I see it, the initial '98 decision that DOE is
9 mesmerized by at the moment--and logically so--is essentially
10 the first issue, and that's the funding stream. If Congress
11 does not see legitimate evidence that this program is on a
12 success oriented trajectory, they're going to shut it off. I
13 don't think that that particular decision is a license
14 decision.

15 NRC may be interested that this has driven you to a
16 kind of synthesis, and bringing together of data for your own
17 comfort, and for persuading Congress, but you surely don't
18 intend that to be up for NRC review, and, indeed, I don't
19 think the Board expects it to be at that level yet. You've
20 got another couple of years of data and research and so on
21 before you begin to get to the point where you expect to see
22 something that will be ready for NRC and for our critical
23 analysis of whether that site is really suitable when you
24 recommend the site.

25 And, it seems to me if we keep in mind that that

1 decision is, again, another decision on a longer trajectory,
2 it's only the initial decision, whether or not that site is
3 the place that one ought to start constructing.

4 There's another set of decisions up the way, which
5 is the receipt of nuclear materials which, in my view, is
6 really the one the public ought to be concerned about. When
7 do you start putting dangerous materials into my Nevada real
8 estate? I'm a native Nevadan.

9 That point is well up the road, and there is time
10 to get a number of these things together to get this
11 synthesis that we're into along the way. Clearly, one
12 strategy we talked about yesterday would be to start off in
13 the initial stages of the design to be very, very
14 conservative, to over-engineer the barriers, to design a
15 system that you may not, in fact, build because it's too
16 expensive, or a lot of other reasons.

17 Nevertheless, if you can persuade Congress that
18 this very expensive Cadillac version can be trimmed down to a
19 Willys or something like that, after you've got enough data
20 to reduce the uncertainty levels, it would seem to be that's
21 a fairly persuasive thing, and I guess what I'd like to see
22 is whether DOE--whether I'm mentally along a trajectory that
23 is at great variance to where you're headed.

24 I'd like to hear from Lake, and from Rick, and Russ
25 on that.

1 DR. PRICE: But you don't want to give them the Willys.

2 (Laughter.)

3 DR. CORDING: Lake.

4 MR. BARRETT: Well, this is a balancing act, as Tom
5 Grumley puts it very dramatically one time, you know, of
6 competing goods. You try to balance one versus the other.

7 One would say, in simplicity of this, was building
8 a simple engineering structure that we're familiar with, that
9 lasts for decades, or a hundred years or so, let's make it
10 conservative and bring it down. There's two things, I think,
11 that make that difficult to do.

12 Number one, if you're dealing with time periods of
13 peak concern, if we end up with a EPA criteria that sets the
14 period of peak dose which is multi-hundred thousand years
15 from now, over-designing the engineered aspects to it may not
16 make that much difference. What you could do by over-design
17 is, well, more investigation in the mountain, in the natural,
18 but that's time and money, and you get this thing too
19 expensive or taking too long, they'll shut it down right now.

20 We are very mindful of the interchange between
21 Senator Johnson and Senator Domenichi last fall about, you
22 know, if I don't see it go quicker, I'm going to shut it down
23 now. We think they've become more enlightened since then,
24 and I hope that sentiment's not as strong, but, nonetheless,
25 that sentiment, it was real, and it is there amongst members.

1 So, we have to balance this thing one way or the
2 other, and it's not a simple thing to do, and I'm not sure
3 that we even could over-engineer things for these peak doses
4 out at multi-hundred thousand years, no matter how
5 conservative we tried at this stage.

6 DR. CANTLON: Let me just put into your thinking, this
7 point: As you know, they've been talking about the depleted
8 uranium, which you really could, if you put that in in
9 particular kinds of way, you could, in fact, get very, very
10 long stability for the migration of many of the isotopes, if
11 my geochemistry--

12 MR. BARRETT: I'm not sure that that would help.

13 DR. LANGMUIR: I've got a different slant on that.
14 Depleted uranium is UO_2 , and, a better choice would probably
15 be the enriching the backfill in silica, which you've got,
16 and calcium, which you have, and limestone to slow down the
17 movement as an oxidized form of uranium, as a metal called
18 uranophane, that would do that.

19 I'm always looking for things that are thermo-
20 dynamically stable, because of all the things we have as
21 geochemists in our grab bag, that we'd like to apply to
22 anywhere like Yucca Mountain, it's equilibrium concepts,
23 because they are infinite. I can defend them at a court for
24 10,000 and a million years, so I can apply them here to hold
25 back movement of radionuclides, so I can comfortably--and all

1 geochemists will support me if I can argue it's a stable
2 system, that nothing's going anywhere, so that's a little
3 different slant on that.

4 Could I shift gears?

5 DR. CANTLON: Well, I wanted to hear Rick on this, and
6 Russ.

7 DR. CORDING: Let's continue this, then we'll get back
8 to that.

9 DR. LANGMUIR: I was going to come back to that.

10 MR. CRAUN: Richard Craun, DOE.

11 In my mind, the short term is truly, as Lake
12 indicated, a balancing act of the engineered features and the
13 cost. We are exploring, with the system studies, and the
14 interfacing with the TSPA folks a whole series of sensitivity
15 studies to try to find out what features could we add to the
16 repository--backfill being one, invert structures being
17 another--that would give us an engineered enhancement over a
18 period of time, whether that be 10,000 years or 20,000 years,
19 and I think that's important for us to do that.

20 You've also brought to the table an issue of an
21 evolving design. Would I expect the design to continue to
22 mature beyond VA? Clearly, yes. As I approach an LA,
23 whether it be two drawings or 10,000 drawings, I would expect
24 that design to be far more mature. As I go beyond LA to the
25 construction permit, I would expect the design to even be

1 more mature, and then into the operating permit, so that I'm
2 starting to load it, and one might even think all the way out
3 to the closure permit, as to one really does, then, actually
4 close the repository.

5 At that stage, I think the design will be very well
6 understood, hopefully, and that bases will be a lot more
7 focused on that, but the uncertainty in the beginning is
8 diminishing with time.

9 DR. CORDING: Thank you.

10 Russ.

11 MR. DYER: To close it off, I agree absolutely with what
12 Rick and Lake have said.

13 The scenario you laid out, though, with essentially
14 bringing something forward in '98, and changing it
15 substantially with time has some attendant risks with it. I
16 mean, there could be a perception, on some people's part, of
17 a bait-and-switch operation. If performance costs,
18 trade-offs are substantial one way or another, that's
19 something we will have to face.

20 DR. CANTLON: Down ought to be easier than up.

21 MR. DYER: As long as it's cost.

22 DR. NORTH: Again, I'd like to jump in here from my time
23 away from the Board, and enmeshed in the details of this
24 problem, as most of you are.

25 When you get out and talk to people that have

1 passing acquaintance only with Yucca Mountain, one of the
2 issues is: Can it be done at all? Is there any way to build
3 a repository in that mountain that's acceptably safe?

4 And it seems to me if you have a very good
5 argument, based on defense in depth, perhaps at some high
6 cost, that it can be done, that is a very important step
7 forward for some of those folks that you've heard discussing
8 in Congress whether or not it ought to be shut down, and I'd
9 really like to see something that you can give to them, and
10 not in 1998, very soon, that says, essentially:

11 "We know how to do this. We didn't find an Aztec
12 princess. We found things we expected, like a little bit of
13 infiltration, and we know how to do it, but there are a lot
14 of ways it might be done better or cheaper, and we need more
15 time to develop those in detail. But here's the big picture,
16 and here's why it's going to work."

17 And if people start believing you know how to do
18 that, that the big picture is there, and you really do know
19 how to make it work, and you've got the technical community
20 backing up that they've looked at it, and they say, "Um-hum,
21 looks pretty to me. I think it'll work," then you're really
22 going to make a lot of progress from where you are right now.

23 DR. CORDING: Don Langmuir.

24 DR. LANGMUIR: I wanted to talk in a way related to all
25 of this, but also to answer Pat, as well.

1 I agree with Pat that you probably are not going to
2 design long-term thermal tests which you can really monitor--
3 we don't know how to monitor them at this point--and learn
4 from them what we would like to learn about refluxion.
5 You're probably going to have to learn these things over
6 decades and decades.

7 I guess my biggest concern has been that, just
8 today and yesterday, DOE folks have been unwilling to suggest
9 there's any life beyond '98 for thermal loading, and we all
10 know that's not true. I appreciate that you're in a
11 political arena, and that you have to try to bring closure,
12 in the view of everybody that's supporting you in the
13 Congress, or not supporting you, but I guess I would just
14 like to have you acknowledge publicly that maybe there's a
15 life after '98 for looking at thermal loading, just to give
16 you some confidence in what this Board might be willing say,
17 and I guess I'm speaking for myself at the moment, but I
18 think we've talked about this.

19 We're prepared, with our own definition of site
20 suitability, which is, if I remember it correctly,
21 "Confidence that the repository has a high probability of
22 successfully isolating high-level waste." I think most of us
23 would be willing to agree to that and sign a piece of paper
24 that said that in a couple years if you pursue, as
25 effectively as you have, and protectively as you have getting

1 answers to key questions.

2 And I would that, since that's all any of us are
3 going to be able to say, is high probability in '98, that
4 you'd have enough comfort with that, regardless of the
5 choices of thermal loading that you might come up, to
6 persuade a Congress of it.

7 Now, I understand that they want black and white,
8 but that's not the real world. Can we all agree that high
9 probability is a comfortable place to be? Is it an adequate
10 place to be when approaching our funding agencies and
11 Congress?

12 MR. BARRETT: Let me comment, then I'll turn it over to
13 Russ.

14 It's necessary, but not sufficient, in my opinion
15 of that. First of all, there will be thermal testing and
16 activities post-'98, and I want to let Russ explain what that
17 will be, and we will document it and make it clear to
18 everybody what that will be in the testing evaluation plan
19 and other things.

20 But, back to the suitability, and where the thermal
21 loading issue comes in here, if you were to tell Congress
22 that we have a high probability of building a repository that
23 will hold 10,000 tons of the material, or 10 per cent of the
24 material, and it cost, you know, somewhere like we're
25 talking, the \$20 billion thing, it's DOA. It isn't going to

1 go.

2 So, it has to be one of reasonable size to solve
3 the nation's problems. That doesn't necessarily mean 100,000
4 tons, but at least several decades worth, in my opinion, this
5 is what they expect to see. So it has to be--and Dreyfus,
6 when he speaks: "A repository of useful size," is in the
7 phraseology, and it's in the words you'll see in the
8 viability assessment and in the program plan, so it's a
9 useful repository, not just a theoretically suitable, that,
10 yes, we can put away a very small amount. It has to be a
11 practically useful one for it to pass, I will say, societal
12 muster, as defined by the United States Congress, willing to
13 fund it.

14 And the thermal, Russ could--because there is a lot
15 of thermal things we're going to be doing.

16 MR. DYER: Yeah. Let me--I see Dennis over here
17 prowling through the schedules, because he's looking for the
18 details that I don't have at my fingertips.

19 But, let me start off by addressing the '98 date.
20 There is thermal testing beyond 98. I think you're thinking
21 about the thermal/mechanical tests, the first tests, which we
22 will initiate this summer. It has about a year to heat up,
23 about a year to cool down, so we get the results by '98, but
24 the large test, the drift scale test starts, I think, next
25 summer, '97, summer of '97, with a heat-up phase of two to

1 four years, so there's testing that goes out until around the
2 turn of the century. That's just the heat-up phase.

3 DR. LANGMUIR: I've been asking this question
4 repeatedly, and I hadn't gotten an answer yet, so that's why
5 I kept asking it. It sounded to me as if things had been
6 disconnected from what had been long-term plans, so I'm glad
7 to see they have not.

8 DR. CORDING: Dennis Williams.

9 MR. DENNIS WILLIAMS: I'd like to make a comment,
10 because Susan's presentation of yesterday, on page 15 and 16,
11 shows the thermal tests going out over the longer duration,
12 and, of course, that's what I keep in my mind whenever we're
13 having this discussion, and those are some--maybe I wasn't
14 listening as well as I could have to your concerns.

15 But, to again provide a little bit more elaboration
16 on this situation, we set, or we put in place a test, a
17 thermal testing strategy last year, and I think we reported
18 to the Board on it. Our strategy was to go from small to
19 large, simple to complex. We started it off with the lab
20 testing, and we ended it up with a large-scale, long duration
21 test. That's the whole plan that we would have liked to have
22 put in place.

23 It included the large block test in there. It
24 included some laboratory blocks. There was a single element
25 heater test, which now we have called the thermal mechanical

1 in the first alcove in the thermal test facility. The drift
2 scale was a piece of that. Again, the large scale, long
3 duration was a piece of that.

4 What we've tried to do as we have moved into this
5 new program phase of more risk and reduced cost, is pick out
6 the pieces of that that we think might do the trick on the
7 front end; the single element heater test, the thermal
8 mechanical one, and the drift scale.

9 One of the questions that was raised: Why not bail
10 into that large scale, long duration test, regardless of
11 cost, you know, force the organization to come up with the
12 money to do that? Well, there is a lot of risk going into a
13 large scale test that is very complex.

14 One of the things that we didn't want to do was
15 bail into that, get a lot of results that we would have a
16 difficult time understanding, so we preferred, then, to drop
17 back to the drift scale; the drift scale, again, starting in
18 '97, a one, two, possibly three-year, or even more of
19 heating. That's what I've, you know, I've been talking
20 about. We turn it off when we get ready to turn off.

21 At the same time that we're following this heating
22 pattern with the predictions, we'll be feeding that
23 information into performance assessment, and also into
24 design, so they will understand something, possibly something
25 about their thermal loading strategy.

1 When we get to the point we feel that we can cut it
2 down or shut it off, or move over to a large-scale long
3 duration test, then we will do that, but I must admit, the
4 end of this is kind of fuzzy right now because we haven't put
5 a specific cutoff on this thing. We have some criteria for
6 making those decisions, and we've got a two-year bar that
7 we've said, "We know we will heat it for two years." So,
8 that's kind of where we stand on it.

9 The last point I'd like to make--and I think Bill
10 Boyle, one of my staffers, made at one of the last meetings--
11 the thermal part is about the only thing that we can control
12 on that mountain. The geology is given to us. Basically,
13 the hole in the ground will be given to us, but the thermal
14 loading is something that is controllable.

15 We find it very important to understand thermal,
16 the thermal response of the mountain. We've had a lot of
17 discussion with the waste isolation strategy because of that,
18 the perturbed environment. The ambient environment we feel
19 we can figure out fairly readily with a little bit of time,
20 and possibly a little bit of luck, but the perturbed part of
21 it is definitely thermal. That's what we need to test.
22 That's what we need to know, because that's about the only
23 thing we can control out there.

24 DR. CORDING: I want to give opportunity for others who
25 want to make some statements, and I think, also, Jeffrey

1 Wong, did you want to make a statement; a comment or a
2 question?

3 DR. WONG: I just have a simple question. You talk
4 about continue funding of all the tests, and I look at the
5 TBM. First, I saw the term "daylighting," and now I see
6 "outholing" is what's going to happen in a period of October
7 of '96 to January of '97, looks like it crosses fiscal years.

8 Is the January, '97 date a pessimistic date, or, I
9 guess my question would be, what happens if that date slips a
10 month, or two months? What will that do to funds available
11 for further scientific studies, such as thermal testing?

12 MR. CRAUN: This is Richard Craun. You added a little
13 twist at the end. I was much more willing to jump in.

14 Clearly, we are looking at ways to get it out
15 sooner. The sooner we can get it out of the ground, whether
16 we call it "daylighting" or "outholing" or "hole outing," it
17 doesn't really matter. Once we get it out of the ground, a
18 lot of the infrastructure associated with the operation of
19 that machine can be--the funds associated with that can be
20 redirected.

21 There is, as there is in '96, a balancing act in
22 order to not ask for more funds from the balance of the
23 program in order to operate the machine. That will be on us
24 again in '97. The more I have to try to produce the funding
25 profiles to operate it through November, December, January,

1 more pessimistic, depending on how pessimistic you want me to
2 be, February, March, if I lose a main bearing, April, May,
3 the price tag becomes progressively larger, and progressively
4 more difficult.

5 That balancing act is taking place now. Those
6 discussions are taking place now. From my standpoint, both
7 engineering and field operations, I realize the amount of
8 engineering work I need to get done, so I think--and so do
9 the scientists. That truly--there's a balance of priorities
10 that will be established by the program, and we will march to
11 those priorities, but we must make sure that we continue to
12 support both engineering and science, and that's been a lot
13 of the objective in '96, and we've put a lot of effort into
14 improving the efficiency of the operations of the machine,
15 the productivity of the men.

16 For example, we've had a 300 per cent reduction in
17 cost in the steel sets that we use on the machine. There's
18 been a lot of very tenacious effort gone into making the
19 operation of that machine less expensive so that we can run
20 it from now, effectively, for the same amount of dollars,
21 through the entire year, versus just half a year, so we're
22 heading in the right direction. The longer it takes to get
23 the machine out of the ground, the more difficult the issue
24 is.

25 DR. WONG: If you go beyond January of '96, it'll be a

1 true test of integration.

2 MR. BARRETT: Yes. If we get our '97 budget as
3 requested, I have full confidence in the Yucca Mountain team,
4 that they will be able to get that machine out and control
5 the costs--if it takes longer, whatever--that it will not
6 adversely impact on the planned science programs in FY97.

7 If we get budget reductions out of this cycle, we
8 have to go back and then balance it all and see where we're
9 going to be.

10 DR. CORDING: Russ.

11 MR. DYER: Russ Dyer, DOE.

12 Let me follow up a little bit. I'll second Lake on
13 that. The challenge is to make sure that we program adequate
14 funds for '97 to do the scientific program that we need to
15 do. The highest priority on that list is the thermal testing
16 program. There will be some contingency built into that.
17 There'll be some contingency associated with the ESF
18 operations, too.

19 This year, we had the, I guess opportunity is the
20 word, to reprogram some infrastructure funds to accommodate
21 some high priority scientific work. If we have high priority
22 engineering construction work that comes up, we'll also get a
23 chance to do some creative management and reprogram some
24 funds in '97.

25 DR. CORDING: I think a continuing look at costs and

1 trade-offs is, obviously, key, and I appreciate that you're
2 looking at that. There's always places you can continue to
3 work on those adjustments.

4 John Arendt.

5 MR. ARENDT: After listening here all afternoon, I've
6 got one request I'd like to make, and I guess it's an action
7 item, and I'm not sure I'm in order to do that, but I'll try
8 it.

9 I'd like to give Bill Barnard an action item, and
10 it's to get a listing of the five priority items, or the
11 priority items that will determine suitability--not
12 suitability, viability, and I would like to have a list of
13 five items, prioritized. I'd like these to come from the
14 DOE. I'd like them to come from the M&O, and I'd like them
15 to come from the Board, and I don't know what the time frame
16 is, but I'd kind of like to see this in the next couple of
17 weeks, because I'm sitting here all afternoon, and I'm not
18 sure what the major issues are.

19 I think there are differences of opinion, and I'd
20 appreciate--if that's in order, I'd like Bill to do that for
21 us. Is that appropriate?

22 (No audible response.)

23 DR. CORDING: I think we have a yes. Thank you.

24 Are there any other comments from staff?

25 Woody Chu.

1 DR. CHU: I have to bring up a question of a different
2 kind on the regulatory framework.

3 Yesterday, Steve Brocoum, in his presentation in
4 the morning, talked about the initiatives that DOE is
5 undertaking vis-a-vis regulations, and these are initiatives
6 not only with respect to 960, which is DOE's own, but working
7 with other agencies as well, and, particularly, in working
8 with the NRC on Part 60.

9 And the emphasis there, it seems to me, or from my
10 reading, was to somehow modify Part 60 so that it brings the
11 focus onto system performance, and so I have a question for
12 both DOE--I guess it's Abe of the Mount, as well as Margaret
13 to comment on. In her opening statement, I seemed to hear
14 that she's endorsing the notion that performance assessment
15 shall become the centerpiece for proving the safety case, and
16 so I'd like to hear from them on that score.

17 MS. FEDERLINE: Yes. Just to bring you up to date on
18 what we have been doing in that regard, the National Academy
19 report, you're familiar with, was published in August of '95.
20 EPA started an active effort immediately to begin to develop
21 standards, and we formed an official liaison relationship
22 with the EPA.

23 We have been doing detailed technical analysis on
24 the implementability of the standards, and providing that
25 material directly to EPA in the formulation of their

1 standard.

2 As we see it--and we have briefed the ACNW and
3 others publicly on this--the National Academy of Science does
4 call for a risk dose-based standard which would focus on
5 performance. You're aware the Commission, in the past, has
6 favored sub-system requirements. We believe that the sub-
7 systems will need to be understood, but based on the
8 direction of the Energy Policy Act and the National Academy
9 report, we do not, at this point, see quantitative sub-system
10 requirements as part of this standard.

11 Our plan for developing this, we've been working
12 with EPA. They're planning to go to OMB in the next couple
13 of months with a proposed standard. At the same time that
14 the proposed standard goes out, the NRC staff is developing a
15 conceptual implementing regulation that the Commission can
16 consider at the same time, and we're going to be proposing
17 two approaches.

18 One would be revising the existing Part 60, and the
19 second would be to develop a new part, which would be a Yucca
20 Mountain-specific part, which we believe is, you know,
21 consistent with Congress's direction in the Energy Policy
22 Act, and that would be a performance-based standard.

23 DR. CORDING: Abe, any comment on that?

24 DR. VAN LUIK: I think our comment would be that we are
25 in the process of a rule making to review 960 to do exactly

1 the same thing, which was to focus on system requirements,
2 because the bottom line is health safety, which is a system
3 performance measure. I think to say that we're working with
4 the NRC and the EPA is a little strong. We are taking
5 advantage of every opportunity to provide comments to those
6 agencies, but they are independent agencies.

7 DR. CORDING: Thank you. Warner North.

8 DR. NORTH: I wonder if I could draw Margaret Federline
9 out into commenting a little more specifically on the time
10 frame issue, the post-10,000 years? Has NRC made a
11 recommendation of that type? Do you have your group working
12 on the implementability of the Academy report in that
13 dimension? And do you have anything that you would like to
14 add as a comment on what was distributed to us in the form of
15 DOE's letter to EPA?

16 MS. FEDERLINE: We have been working on the time frame
17 issue, and we have provided several analyses to EPA in that
18 regard, just out of courtesy to EPA. Those deliberations
19 have been between the two regulatory agencies, and we could
20 certainly come forward at an appropriate time and brief the
21 Board. We'd be happy to do that on all the positions that
22 we've taken with EPA.

23 MR. NORTH: In making my speech to NRC rather than DOE,
24 it seems to me this decision's ultimately going to be made by
25 the public and their elected representatives, and it'll

1 probably be a very good idea to have it discussed in public
2 as to what is the implementability of the Academy's
3 recommendation, and how it is you propose to do it.

4 MS. FEDERLINE: Right.

5 DR. CORDING: Thank you very much, and thank you all for
6 your participation this afternoon.

7 We want to also give time for any public comment.
8 I didn't see any people sign up on the list, but we do want
9 to ask if anyone wishes to speak at this point. Please come
10 forward. You're welcome to come and speak.

11 (No audible response.)

12 DR. CORDING: All right. Well, thank you very much.
13 I'm trying to get some other sailing analogies, sort of like
14 the rudder is in the water, and all those things, but I've
15 been in Illinois for two years, and I haven't been out, so
16 I'm going to turn this over to John Cantlon, our chairman,
17 for his closure.

18 DR. CANTLON: Well, let me thank everyone for what I
19 think has been a very productive session. I think this is a
20 reassuring trajectory that we're on, and I just think that,
21 as we all know, it's an iterative process, and we're going to
22 be following very closely the progress that's being made on
23 synthesis coordination, integration, and, hopefully, the
24 picture that is emergent will keep the money flowing so that
25 the program can continue.

1 So, thank you very much for your participation.
2 (Whereupon, at 3 p.m., the meeting was adjourned.)