

UNITED STATES
NUCLEAR WASTE TECHNICAL REVIEW BOARD

WINTER BOARD MEETING

January 10, 1996
Holiday Inn Crowne Plaza
4255 South Paradise Road
Las Vegas, Nevada

BOARD MEMBERS PRESENT

Dr. John E. Cantlon, Chairman, NWTRB
Dr. Garry D. Brewer, Session Chair, Afternoon Session
Dr. Edward J. Cording, Session Chair, Morning Session
Dr. Clarence R. Allen
Dr. Donald Langmuir
Dr. John J. McKetta
Dr. Jared L. Cohon
Dr. John W. Arendt
Dr. Jeffrey J. Wong

CONSULTANTS

Dr. Patrick A. Domenico
Dr. Ellis D. Verink
Richard Parizek

SPECIAL GUESTS

Dr. Ju Wang, Vice Director, Beijing Research Institute
of Geology, Chinese National Nuclear Corporation
Michael Folger, Managing Director,
UK NIREX, Ltd., Great Britain
Sir Richard Morris, Chairman
UK NIREX, Ltd., Great Britain
Mark Hammond, British Embassy, Washington, DC

SENIOR PROFESSIONAL STAFF

Dr. Leon Reiter
Dr. Daniel Fehringer
Dr. Victor Palciauskas
Dr. Sherwood Chu
Dr. Daniel Metlay

NWTRB STAFF

Dr. William D. Barnard, Executive Director, NWTRB
Paula Alford, Director, External Affairs
Helen Einersen, Executive Assistant
Linda Hiatt, Management Assistant

I N D E X

	<u>PAGE</u>	<u>NO.</u>
Welcome and Opening Remarks		
John Cantlon, Chairman	5	
Nuclear Waste Technical Review Board (NWTRB)		
Session Introduction		
Edward Cording, NWTRB	12	
Office of Civilian Radioactive Waste Management (OCRWM) Program Priorities		
Wesley Barnes	12	
Yucca Mountain Site Characterization Office (YMSCO) Program Activities Update		
Wesley Barnes, Project Manager	21	
Exploratory Studies Facility (ESF) Construction Update		
Richard Craun	40	
Assistant Manager for Engineering & Field Operations		
Status Update on Waste Containment and Isolation Strategy		
Jean Younker	63	
Manager, Suitability and Licensing Operations TRW Environmental Safety Systems, Inc.		
Update on Site Investigations		
Dennis Williams	98	
Deputy Assistant Manager for Scientific Programs		
Update on Site in-situ Thermal Tests		
William Boyle	125	
Geoengineering Team Leader (YMSCO)		
Session Introduction		
Garry Brewer, NWTRB	143	
Discussion/Questions		
Wesley Barnes, Project Manager	145	
British Nuclear Waste Management Program		
Michael Folger	152	
Managing Director, UK NIREX, Ltd., Great Britain		

	<u>PAGE</u> <u>NO.</u>
Chinese Nuclear Waste Management Program	
Ju Wang	182
Vice Director, Environmental Research Center Beijing Research Institute of Geology Chinese National Nuclear Corporation	
Board and Science Questions and Answers	198
Public Comment Period	
Tom McGowan	219
Parvis Montazer, Consultant to Nye County	225

1 P R O C E E D I N G S

2 DR. JOHN CANTLON: My name is John Cantlon. I'm
3 chairman of the Nuclear Waste Technical Review Board. It's
4 my pleasure to welcome you here to our winter meeting in Las
5 Vegas.

6 The blizzard of '96, together with the federal
7 budget fiasco have imposed certain constraints on our agenda
8 today, as well as on our support service. Nevertheless, it's
9 particularly nice to escape from snowy and cold East Coast.
10 I'm pleased to welcome many of you here to join us. Perhaps
11 this is an endorsement of why so many people are choosing to
12 move to Southern Nevada.

13 We have an interesting two days ahead of us. As
14 most of you know, the Nuclear Waste Technical Review Board
15 was created by Congress in the 1987 Amendments to the Nuclear
16 Waste Policy Act, and the Board is charged to assess the
17 technical and scientific validity of DOE's efforts in
18 designing and developing the nation's spent fuel and high
19 level radioactive waste management system, including the site
20 characterization at Yucca Mountain.

21 In addition to chairing the Board, my field of
22 expertise is environmental biology. I'm a former vice-
23 president of Research and Graduate Studies and Dean of the

1 Graduate School at Michigan State.

2 Let me now introduce my colleagues on the board;
3 Clarence Allen. If you'll hold your hand up there?
4 Professor Emeritus of Geology and Geophysics at Cal. Tech.
5 John Arendt, a specialist on nuclear fuels and transport of
6 nuclear materials, former Oak Ridge individual, now a private
7 consultant. Garry Brewer, Professor of Resource Policy and
8 Management at the University of Michigan. Jerry Cohon, Dean
9 of the School of Forestry and Environmental Studies at Yale
10 University.

11 Ed Cording, Professor of Civil Engineering,
12 University of Illinois. Don Langmuir, Professor Emeritus,
13 Geochemistry, Colorado School of Mines. John McKetta, Joe C.
14 Walter, Professor Emeritus, Chemical Engineering, University
15 of Texas. Jeffrey Wong, a toxicologist and science advisor
16 to the Director of the Department of Toxic Substances
17 Control, California Environmental Protection Agency.

18 Past Board members who are now serving as
19 consultants pending their re-appointment or replacement are
20 Ellis Verink, Distinguished Service Professor Emeritus of
21 Metallurgy at the University of Florida, and Pat Domenico,
22 David B. Harris, Professor of Geology at Texas A&M. Pat is a
23 geohydrologist.

24 In addition, I'd like to introduce those of our
25 staff that were able to get out of Washington. Dan Fehringer

1 on the side over here, Leon Reiter, and Vic Palciauskas.
2 They are the three survivors of our crew.

3 We meet here during a time of significant change
4 for the U. S. Civilian Waste Management Program. Congress
5 not only declined to provide DOE with the funding that OCRWM
6 requested to push its full program ahead; it gave the program
7 a 40 per cent budget cut from its 1995 level. In both the
8 House and the Senate, several significant legislative
9 initiatives to restructure the Civilian Radioactive Waste
10 Management Program are pending.

11 Ironically, these changes would add additional
12 storage responsibilities and are taking place just as OCRWM's
13 technical investigations at Yucca Mountain are really
14 beginning to gather some momentum. During the next two days,
15 we will be considering the implications of these and other
16 changes.

17 Today's session will begin with a presentation from
18 Dr. Dreyfus, Director of the DOE OCRWM program, but he was
19 unable to get out of Washington, and Wes Barnes, the Director
20 of the Yucca Mountain project will briefly outline what Dan
21 might have said, and we can discuss some of these.

22 This will be followed by Wes Barnes telling us
23 about the activities at the Yucca Mountain Site
24 Characterization Project.

25 Rounding out the morning session, several members

1 of the DOE's project team will discuss the results of key
2 technical analyses and studies dealing with the waste
3 isolation strategy.

4 The Board was briefed at its October meeting on
5 efforts that the DOE's managing and operating contractor had
6 undergone to develop a waste isolation strategy, something to
7 which the Board attaches a great deal of importance.
8 Therefore, we look forward to hearing how these efforts have
9 progressed since our last report.

10 The DOE will also update the Board on its plans and
11 progress for carrying out the underground thermal test in
12 Yucca Mountain and on recent analyses dealing with the
13 geohydrologic network in the Yucca Mountain. Both of these
14 questions have been of considerable interest to the Board in
15 the past.

16 The afternoon session, we had planned to have
17 Margaret Federline from the Nuclear Regulatory Commission and
18 Ray Clark from the EPA tell us about how those agencies are
19 responding to the National Academy's recommended change in
20 the standards for a repository. Both of these individuals
21 have been caught up in the blizzard or in the budget fiasco
22 and we will not be able to hear this. So we'll put this on
23 to a future program.

24 Instead, we will begin this afternoon's session
25 with a presentation from two distinguished foreign visitors

1 about their national high level radioactive waste management
2 programs; Michael Folger from the United Kingdom, and Ju Wang
3 from the People's Republic of China. Ju Wang also had to
4 cope with the unsettled budget situation, since the U. S.
5 Counsellor section in Beijing was shut down and he had to do
6 some end runs to get his visa prepared.

7 Hopefully, tomorrow will be better and we can
8 devote the entire morning session to the question of how
9 expert judgment will be used in the licensing process. This
10 is another long-standing area of interest to the Board. In
11 fact, in response to a 1991 Board recommendation, the DOE
12 convened a workshop on expert judgment. Based on that
13 workshop, the DOE has put together some general guidance for
14 the use of expert judgment in characterizing the Yucca
15 Mountain site. We will hear from them on that matter.

16 In addition, Michael Lee from the NRC and Steve
17 Frishman from the Nevada Nuclear Waste Projects Office will
18 present their views on this important subject.

19 Participants in three efforts where expert judgment
20 has been used will then make presentations. The DOE
21 sponsored a formal elicitation on volcanic hazards. Kevin
22 Coppersmith, who led that work, will discuss what was done,
23 and describe the preliminary results that were obtained.

24 We are also especially pleased that Alex McBirney,
25 who served as an expert on that panel, will be able to join

1 us tomorrow and share his experience.

2 The NRC, through their Center for Nuclear Waste
3 Regulatory Analysis, also sponsored a formal elicitation on
4 climate change. Aaron DeWispelare from the Center will tell
5 us about the results of that effort.

6 Finally, the DOE will use expert judgment
7 informally in preparing its recent total system performance
8 assessment, and Robert Andrews of the M&O will describe that
9 work.

10 Tomorrow afternoon, we shall hear from Ernest
11 Smerdon, who chaired the National Academy of Sciences Peer
12 Review of the DOE technical base report on surface processes.

13 Although the DOE has apparently decided not to continue to
14 issue technical basis reports as part of the formal site
15 suitability process, the Board feels that the experience
16 gained from this limited experiment may be valuable to the
17 DOE in the future. For that reason, we have also asked Carl
18 Johnson, representing the State of Nevada, to give the Board
19 the State's view on the technical analyses contained in that
20 report and on the processes used to prepare it.

21 Finally, several individuals from DOE will discuss
22 plans for managing defense waste and surplus fissile
23 materials. Although it has not been finally determined that
24 defense materials of this type will be disposed of in the
25 first repository, the Board believes that it is critically

1 important that various parts of the DOE with responsibility
2 in this area maintain close contact and communication with
3 each other and with the public.

4 One point of procedure that we've asked each
5 speaker to leave adequate time for questions. After each
6 talk, whoever happens to be chairing at the time, will ask
7 for questions and comments first from the Board members, then
8 from our staff, those that have survived the blizzard, and if
9 time permits, we'll ask questions from the floor.

10 I do want to point out, however, that as is true
11 with all of our meetings, we have set aside on the agenda at
12 the end of each session a public questions and comments
13 period. So if you have a question and our schedule is moving
14 along so rapidly you can't get it in, please write it down
15 and bring it up at this end session that we will have.

16 To encourage as many people as possible to
17 participate, we need to limit the time allowed to each
18 individual making public comments. So please try to keep any
19 remarks that you have to a five minute max, and if we have a
20 large number of people that have signed up to talk, we may
21 even have to reduce that a little bit.

22 When you come to make your comment, please go to
23 one of the microphones in the aisles, identify yourself and
24 your affiliation. And those wishing to make comments are
25 urged to sign up in the public comments register in the back

1 of the room at the sign-up table.

2 Now let me turn our first session over to Ed
3 Cording, who will chair. Ed?

4 DR. CORDING: Thank you, John Cantlon.

5 I'm going to be chairing the morning session, as
6 Dr. Cantlon mentioned, and are pleased to have with us people
7 from the Yucca Mountain project office, who will be making
8 presentations this morning.

9 Our first speaker will be Mr. Wes Barnes, who is
10 project manager of the Yucca Mountain Site Characterization
11 Office. Wes Barnes has brought to the program really a very
12 extensive background in managing energy projects, both in
13 government and in private practice, and most recently in
14 private practice.

15 Mr. Barnes is going to be making two presentations
16 this morning. Perhaps we may have the opportunity after the
17 first presentation for some questions, and then proceed with
18 the second. But Mr. Barnes has been in this position now I
19 believe it's a little over a year, and this is a year in
20 which we've seen major changes in the program and I believe
21 some very major improvements in the management and the
22 progress of characterizing the Yucca Mountain project. Wes?

23 MR. BARNES: Snow in Washington; fog in Nevada. There
24 really is snow in Washington. There's fog here because I'm
25 standing here instead of Dan Dreyfus. I'm too tall, I've got

1 too much hair, and I'm not bright enough to take his place.
2 So I'm going to do a summary of what he has to say. I have
3 his speech in front of me.

4 I encourage everyone, especially the Board, to get
5 a copy of Dan's speech and take a moment to read it. He
6 agonized over this, and he chose some of the words very
7 carefully, and I share that with you. Those are his comments
8 to me as of last night.

9 The highlights are a where are we, and we're at a
10 \$400 million budget in 1996 with \$85 million sequestered. So
11 he's operating at \$315 million, which obviously is a far, far
12 cry from the program plan that we all admired last year.
13 What's happening is \$250 million of the 315 is coming to the
14 mountain. That hampers my program a great deal because as
15 you can imagine, I expected to go up \$100 million, and I went
16 down \$100 million. That changes a lot of goals. In fact, it
17 changes all the goals. The goal now is to reach a viability
18 assessment by 1998, something we have defined.

19 Very basically, a viability assessment is that we
20 are going to design the repository that would fit into Yucca
21 Mountain. We are going to be able to tell the Congress of
22 the United States how much it will cost to build that
23 repository, how much it would cost to get to a license, how
24 long it would take you to get there, and how long it would
25 take you to get an EIS. That's what we expect to accomplish

1 by 1998 with the limited funding available.

2 Dan goes on to talk about what it would take to
3 reach a license. I really encourage you to read that portion
4 yourselves. It's difficult, because when you're looking at
5 spending \$3.2 billion and you're cut back to possibly a
6 billion between now and 1998, that leaves very little room.
7 And that's basically Page 6.

8 He makes comment at the end, that we can't tell
9 what the future is. You know how many bills are in front of
10 Congress right now. You basically know what the President's
11 position is. It's going to be fought out in the next year,
12 1996. I would be foolish to start guessing what that outcome
13 would be.

14 I feel like he's watching me. Be careful, Wesley.
15 With that, I'll stop and ask are there any questions?

16 DR. LANGMUIR: Langmuir; Board.

17 The Board's been wrestling with the definitions of
18 some very important words, one of them being viability,
19 trying to decide what you mean when you say you're going to
20 be viable, or you used to be suitable. We tried the word
21 acceptable the other day in one of our reports. These words
22 need definitions if we're going to get some sense of what the
23 real goals are. And when you suggested, Wes, that viability
24 meant design repository accomplished, cost and time to
25 repository and the EIS, that was a much less complete

1 definition in that word than I think we envisioned.

2 We were looking to that word to mean something
3 about having to do with scientific, defensible program which
4 was an investment decision, as you said, that there was a
5 probability that you could get licensed. That was part of
6 the definition we were looking at.

7 Could you elaborate on what viability means?

8 MR. BARNES: Who is that guy? A rose by any other name.

9 You can see that Dan tries to say something in his
10 presentation about that. It's impossible to tell you now,
11 until I design something, when I can strike out for that
12 license. Believe me, we agonized over those two words also.

13 It's really a two dimensional question you're asking me; one
14 is what do the words mean.

15 Dr. Brocoum is here in the audience and I'm sure he
16 will tell all of his troops that are here today, that we must
17 have changed that name ten times, and finally we settled on
18 VA. So it's a rose by any other name.

19 How do you get to licensing? We finally determined
20 that with the limited money, what could we do, and we said
21 what we can do for sure is design that repository. We know
22 that. So we have a goal to do that, and the country will
23 know where we stand, where the project stands in 1998 under
24 that particular scenario.

25 Leaping ahead into my presentation, we have taken

1 it upon ourselves here in Nevada to do some contingency
2 plans, and it's work in progress, we're doing that right now.

3 Is there some way we can get to a licensing date? I can't
4 answer you today. But we here are doing that, and not alone.

5 Dreyfus is aware of it. He's assigned some folks in
6 Washington to work with us. We're not operating as bandits
7 out here, but it is a work in progress.

8 DR. CORDING: Jared Cohon?

9 DR. COHON: Jared Cohon; Board.

10 Just to continue this line, I, as all my colleagues
11 on the Board have been trying to do, is read Dan's statement
12 while you've been talking, so the question may not be very
13 well formed or well informed. But in reading on Page 4, what
14 Dan Dreyfus says are the component--or I'm sorry, the
15 specific work products of viability assessment, one thing I
16 don't see--well, let me put one other point out.

17 In addition to those four products at the top of
18 Page 5, he says, "The components of the assessment will make
19 important contributions toward the development of a
20 Secretarial recommendation, but they will not be sufficient
21 for that formal action."

22 One of the things I would have expected as a
23 specific work product would be a clear definition of what
24 else needs to be known in order to make that specific or that
25 formal action, the Secretary recommending the site. And

1 maybe it's contained in this language and I don't see it.

2 What's your understanding of that?

3 MR. BARNES: He really is watching me. When you
4 constrict me, not you, but when the world constricts me the
5 way they have, I don't have the resources--I'm laying off
6 hundreds of people--to continue going down a path that we all
7 understood, that we thought was the way to go to come up with
8 all the answers. So what path can I walk then? We chose
9 this one, the VA path.

10 On the other hand, we're not stupid and I wouldn't
11 run--I personally as the project manager would not run the
12 TBM without the science program behind it. I just won't do
13 that. Now, they can remove me, I suspect, and put somebody
14 in that will do that, just build a hole while you're
15 collecting the data. That's what Dan's referring to. You're
16 going to have more data towards that possible announcement by
17 the Secretary, but it's not in the plan. It's being
18 collected incidentally. We're not abandoning the science
19 program at all.

20 DR. CORDING: Looking at the progress of the underground
21 construction and access to the underground, it's obvious that
22 you're really there, and in a very few months you'll be
23 almost completely out of there if you continue on with the
24 south portal. So you're now at the position of the Ghost
25 Dance Fault, the first Ghost Dance Fault location where you

1 would access the Ghost Dance Fault, not at the Ghost Dance
2 itself, but at the drift location. And the thermal test area
3 is being started.

4 There's a lot of things that the program has gotten
5 to the point of getting to the place where a lot of that
6 science that you've been looking for can be obtained for the
7 program, and in my view, the sorts of things that can be done
8 underground are really a very important part of some sort of
9 assessment, whether it's viability or suitability.

10 Are you going to be able to accomplish those things
11 and is that critical to this assessment and are you going to
12 be able to accomplish them with, for example, this declining
13 \$250 million budget, which declines to zero I think it is in
14 three years, or something?

15 MR. BARNES: Ed came out last month. Most of you didn't
16 get a chance to sit down and talk, so he's closer--moving
17 again into my next presentation--we are looking at things
18 like that, because it's obvious to us and to our scientists
19 that we've been here for more than ten years, we've collected
20 a lot of data. I've managed to find funds in this year's
21 budget to do things like create a Tiger Team to go look at
22 trying to pull that data together, because the one thing we
23 don't have, if there was some black eye for the project,
24 there's no library, there's no table of contents, there's no
25 way to look at all of it and present it. There is all those

1 documents some place. I've never challenged the scientists
2 in this program that he or she could not answer me and then
3 go document that answer. So the data is here; it's pulling
4 it together.

5 Is the work in progress? I'll tell you in months.
6 I haven't made that final presentation to Dreyfus. He
7 hasn't turned us off. On the other hand, I want to tell you
8 very clearly he hasn't bought in. I do not have approval to
9 do something else, so the viability assessment is still where
10 we're going. Those are our marching orders today, and that's
11 what we're doing. Everything else is extra to that,
12 incidental to that.

13 DR. CORDING: So much of the things that you'd love to
14 get to, and perhaps you can with efficient management, they
15 aren't at this point essential to the viability, as it's
16 defined at this point; is that correct?

17 MR. BARNES: Exactly.

18 DR. CORDING: Thank you. Yes, Donald Langmuir?

19 DR. LANGMUIR: Wes, you've been intentionally vague on
20 what the plans are for the next year or two in terms of
21 specific research. But, clearly, the program has made some
22 decisions already, even though you're not talking about it
23 here. When you cut 875 contractors and you cut dozens and
24 dozens of scientists and cut back specific programs within
25 the overall scheme of things, you're making decisions then,

1 presumably, as to what the core science will be. And I could
2 infer, but I'd love to have you tell me what you've decided
3 the core is, because presumably it's been decided to make
4 those personnel decisions.

5 Your topic says that one of the three subjects
6 you'll discuss, or that Dan would have discussed, was
7 research priorities, and that clearly is tied right into the
8 personnel decisions.

9 MR. BARNES; Basically, for the viability assessment, we
10 cut the surface program completely. We kept the TBM
11 operating to some point. Now, as I lower costs, I'm going to
12 run the TBM further. But that also means that I've got to do
13 the science program associated with that operation. So the
14 science in the tunnel is continuing. Basically, the surface
15 is not. There are some things going on on the surface which
16 you will hear later on, but for generalities, there is no
17 surface program left at all.

18 Everything on the EIS has stopped. We have not
19 formally gone out to the public and said we've stopped the
20 EIS, but we are not currently spending any money on
21 environmental impact statement for Yucca Mountain. In a
22 nutshell, in those three arenas is what we're doing. I'm
23 sure my friends in licensing, everything in licensing has
24 stopped also. All those activities have ground to an
25 absolute halt.

1 DR. LANGMUIR: Further question. To what extent, and I
2 guess we'll hear about this later today, were these decisions
3 as to what you'd cut and what you wouldn't cut based upon
4 total system performance analysis in the program?

5 Presumably, that's to be a guiding approach we're using here.

6 Maybe I should wait on that question.

7 MR. BARNES: Well, I think for a very technical answer,
8 the answer is yes, you should wait. But for the political
9 answer, that's part of the viability assessment. What we
10 will tell the Congress in 1998 is the performance assessment
11 of the repository, how will that repository operate. So
12 there's a lot of other things in performance assessment that
13 are not going forward, but not that portion. That portion is
14 going forward; how will the repository operate within the
15 mountain.

16 Where is my chief scientist? Am I okay? Thank
17 you.

18 DR. CORDING: Thank you, Wes, for this initial
19 discussion. And perhaps we could at this point go on with
20 your other presentation. I think you were leading into it
21 with that question, so perhaps it would be best to do that.

22 MR. BARNES: You've got most of it already. A quick
23 overview of where the project stands today is first of,
24 personnel. We've laid off, to date, roughly 300 people. By
25 the end of the fiscal year, I will lay off another 400. The

1 federal staff stays intact only because I froze that last
2 year and we haven't hired anybody and we don't plan on hiring
3 anybody. So we'll be down to roughly 1200 people. Is that
4 right? 1200 people in the M&O by the end of the year, and
5 roughly 100 feds operating out here.

6 I suspect my budget next year will go down again to
7 roughly 200 million from the 250 it is today. Now, that's
8 what's planned. I can foresee other things happening, but
9 that's the plan.

10 The tunnel boring machine, if you look at the
11 report, which I'm sure you have, this particular board, of
12 the board you asked me to create, the tunnel boring machine
13 board of advisors, their first report gives me an A plus. So
14 we're doing very well in the tunnel. We got through our
15 initial year. We made mistakes, but right now, we're
16 operating very well for two reasons; the training period is
17 over, number one, and number two, we're in very solid ground.

18 So we're making great progress.

19 There are times, by the way, when that's a pain
20 because it's eating up more money than I want to eat up at
21 the moment, but it's running very well.

22 The science program is folding itself down, but
23 operating behind that machine very well. There's no glitches
24 at all. We're collecting the right data. We are at the
25 heater test alcove, we're past it, as a matter of fact, and

1 we're going to start excavating this month into that alcove,
2 which is Alcove 5. I won't get into Rick's presentation.
3 I'm sure he'll do a good job with that.

4 The project report; I don't have any problems in
5 Washington. I don't have any problems locally. I can see my
6 friends from the state and the county are all here shaking
7 their heads back there. How are you, Judy? Nice to see you.

8 I don't think I've got any problems with any of them. If I
9 do, they'd tell me on a very regular basis.

10 Questions?

11 DR. CORDING: Yes, Don Langmuir?

12 DR. LANGMUIR: We read that Senator Domenici has decided
13 he's going to propose less funding or no further funding in a
14 year or two, unless he sees "progress". Obviously, the
15 progress you can show easily, most easily, is the TBM machine
16 roaring through the mountain with a big hole. But those of
17 us interested in characterization are more concerned about
18 what you learn from that tunnel.

19 You're clearly going to try and get him in the
20 tunnel and show him the tunnel, I gather, this year. I've
21 heard that the invitations are out, if you can get them away
22 from the budget problems to come look.

23 MR. BARNES: Yes, sir.

24 DR. LANGMUIR: But what else will you tell Congress?
25 What can you tell them that you think will get their ear and

1 keep support coming to this program, other than the visible
2 hole in the ground, in the way of science and engineering
3 that would support a license?

4 MR. BARNES: That's a tough question because you're not
5 talking about stupidity. The Congress of the United States
6 is an educated body. But, Lord, they're ignorant right now.

7 Talking to this body is a joy, but talking to that body is a
8 very, very difficult proposition. I enjoy Dan Dreyfus's
9 confidence, and I say that because when Senator Murkowski
10 came out here, probably the most important guy for us in
11 1996, Dan didn't bother to join us. He let me handle that
12 particular day, and I walked around with him all day long.

13 To tell somebody with that level of education that
14 we're proving what we already knew, that everything that
15 these scientists knew years ago, they collected from the bore
16 holes and knew about that mountain and knew from their
17 education, as you do, we're now proving, it went almost
18 nowhere. What he did understand was going down into that
19 tunnel and seeing that it was dry. That was progress. He
20 could see it, he could measure it, it could touch it, he
21 could feel it. He understood that. I understand very
22 clearly, sir, that tunnel boring machine is not the project,
23 but it is the symbol of this project, and that's why I'm
24 keeping it running.

25 DR. LANGMUIR: What happens when you stop drilling, when

1 you're through with the hole?

2 MR. BARNES: I don't know.

3 DR. LANGMUIR: What does progress mean then?

4 MR. BARNES: I don't know. I honestly don't know. I
5 know what it means to you and I know what it would mean to
6 these scientists, but I don't know what it's going to mean to
7 the rest of the world. I haven't got a clue. I'm going to
8 do the job I was given to do as long as I can do it, or until
9 the world makes it so hard I have to quit.

10 DR. CORDING: Other questions from the Board, or Staff?
11 Leon Reiter?

12 DR. REITER: Would it be all right to go back and ask a
13 question on the first topic?

14 DR. CORDING: Certainly.

15 DR. REITER: I just want to explore a little bit the
16 viability. I know a lot of people ask questions about it,
17 but really is it a change of term we're trying to figure out
18 what this all means. We used to talk about something called
19 early site suitability, and at that time, DOE told us early
20 site suitability and we say we haven't found anything to stop
21 us, let's continue working.

22 Then we talked about something called technical
23 site suitability, which was formerly tied, as early site
24 suitability was, to reaching agreements or reaching
25 guidelines that were laid out in 960.

1 I guess the first question I want to ask is a two
2 part question. Does 960 figure anywhere in the future plans
3 of DOE? Are you going to tie viability or anything else
4 associated with suitability to 960, or are you planning on
5 giving it up?

6 And the other question is I wonder if, you say the
7 site's going to be viable, do you have or your people who
8 work with you have in mind some sort of a statement that if
9 Congress asked you what do you mean is it viable, what's the
10 likelihood that we could build a safe repository and have it
11 licensed, do you have in your mind some sort of idea what's
12 the highly probably likelihood, it's a toss-up? I wonder if
13 you could give us any sort of insight on that, because we're
14 all struggling with what that word means.

15 MR. BARNES: Remember the first question you asked was
16 can I go back to number one, and the only person who answered
17 you was the chairman.

18 Question number one, 960, 60, all the existing
19 regulations, under the current situation, when the Congress
20 made the move that they made, they took us off those tracks.

21 960, for example, talks about comparing to other sites. Am
22 I doing that? Not at all. I'm not doing what those
23 regulations want us to do. The program has no definition by
24 the new Congressional terms. So do they apply? As much as I
25 can follow them, I follow them. But I'm lost. I think we

1 need change. I suspect that Congress will recommend change,
2 if they decide to go forward with this program, to those very
3 regulations.

4 DR. REITER: Excuse me, Wes. At one time in the past,
5 DOE internally decided that even though it was originally for
6 comparison of sites, it was also a good way to judge the
7 suitability of a site, but that was a DOE decision. So I
8 gather you're saying DOE now no longer believes that?

9 MR. BARNES: I'm going to take you to the next question.
10 You can't tie them together; keep them separate, because
11 they are separate. Look at Page 4. Page 4 clearly defines
12 what the viability assessment is. And forget the word
13 viability. If you look it up in Webster's, maybe it doesn't
14 apply. As I said before, we agonized over what choice of
15 words. Call it a rose, but that's what we're going to
16 accomplish between now and '98.

17 DR. REITER: I guess I'm getting at you've laid it out,
18 but that collective activities, do you think that, use the
19 word viable, that that would give you some sort of high
20 likelihood that the site can be licensed or built safely and
21 licensed? Or is it sort of a toss-up still?

22 MR. BARNES: No. Don't twist that word viable to mean
23 anything but these words on Page 4. Now, are we as smart as
24 you are? I'm not sure. But you know that we've got the same
25 itch that you do. And as I said earlier, we're trying to

1 look at that. But for me to do that alone without the team
2 that Dreyfus has let me pull together would be impossible. I
3 am looking at those things. I'm taking a second look at
4 contingency planning; is there some other way to get to the
5 goals that you're talking about, to get to a licensing date.

6 Can we do that? Can we collect ourselves at this point?

7 How many years have we been here, Russ, Dr. Dyer?

8 What did he say? Since '78, since 1978, collecting data
9 since 1978. Can I use that somehow to come up with a new
10 licensing date that has any realism to it? Work in progress.

11 If that's what you're looking for. I can't give it to you.

12 I haven't got it.

13 DR. CORDING: Don Langmuir?

14 DR. LANGMUIR: Let me pick up on what Leon has been
15 posing to you, Wes.

16 Looking at the definition of viability on Page 4, I
17 find it very disappointing, and I doubt very much if I was a
18 Congressman that I would give you a cent to do any further
19 work. If you promised to meet a viability decision by '98,
20 all you're telling me, the key words seem to be design and
21 cost. We'll design something, we'll give you a cost of it,
22 and all you're promising me in terms of science and
23 engineering is you'll have an estimate of the probable
24 behavior of a repository.

25 We wrestled yesterday in our closed Board meeting

1 with what we thought suitability ought to mean, and I may be
2 misstating it. John Cantlon has written down our consensus
3 definition of it, but at least qualitatively, it was that the
4 site could be declared suitable if we could agree that there
5 was a high probability that a repository at the site can
6 isolate high level waste. And some of us said another way of
7 putting that would be that it can be licensed; that we have
8 high confidence that it can be licensed.

9 I think without a definition like that, that you
10 can have confidence in yourselves by '98, you're not going to
11 get any more money. I certainly wouldn't give you any if you
12 promised a viability decision as you've defined it by '98.
13 We'd like to support you, but unless you have more confidence
14 than you seem to have, it's tough to defend the program.

15 MR. BARNES: That's a challenge. I like that. That's a
16 challenge. If I remember from the introductions, from the
17 chairman's introductions, you've got some business
18 background, you personally.

19 DR. LANGMUIR: A small, one man corporation.

20 MR. BARNES: But, you see, you know that when you write
21 the check, there had better be something behind it. Look at
22 me as just the project manager for a minute, and imagine what
23 I wrestled with in the last six months, as soon as we knew
24 that this was the number. Because of all the laws and
25 regulations, do you realize it cost me a great deal of money

1 to lay somebody off? I mean, I've got some regulations
2 facing me. The Department of Energy has made commitments at
3 nuclear sites where I have to pay months and months and
4 months of salaries under certain contracts that I never
5 signed, but I'm part of.

6 I share that with you because those are all the
7 problems that come to my plate to manage this program. Then
8 add to that, so now I know that the money you're giving me, I
9 can't spend it on science, I can't spend it on TBM, I have to
10 spend it on all these other things. So you say well, Wes,
11 you've got \$250 million. You can almost knock 50 million off
12 the front that goes to these other things that I've got to
13 put up with in the down ramping situation.

14 And knowing that, Dreyfus, for example, he's got
15 315. Look how strong he's being in carving 250 out of that
16 315 and giving it to me. His folks in Washington are having
17 a fit, but he's being loyal to this project. We've got the
18 lion's share. I say it's 70 per cent, but I'll bet you
19 there's people in this room that will say it's 80 per cent,
20 every dollar he gets, I get 80 cents of it. So those are all
21 the things that I'm faced with.

22 Now, what can I do with that money? What can I
23 guarantee you that I'll do with that money in 36 months or
24 less? I can do that. I know I can do that. Can I do other
25 things? Yes. We're taking a look at is there possibly other

1 things I can do. In the interim, Congress, this is what I
2 can do. I can guarantee you that. It makes sense.

3 DR. CORDING: John Cantlon?

4 DR. CANTLON: Let me pursue that just a little bit
5 further, Wes. You probably will accompany Dan in
6 Congressional testimony.

7 MR. BARNES: I hope not.

8 DR. CANTLON: If he's smart, he'll have you there.

9 And having sat in those chairs myself, I know the
10 kind of questions that you get, and the statement that Don
11 Langmuir just made is very likely to be the background in the
12 mind of the question. And Don or you are going to have to
13 answer the question what is the probability that that site is
14 going to be licensable if we fund you in 1997 at "X" level,
15 "Y" level, whatever it is, and you're going to have to give
16 them some kind of an answer.

17 I don't think the answer you just gave, that you've
18 got management problems, is going to carry much weight,
19 having been a manager myself for 25 years. As bad as those
20 are, I've been to state legislatures and you can't get away
21 with that answer.

22 MR. BARNES: I suspect you're right. If you ask me, I
23 have an answer. But I can't pull the whole thing together
24 and satisfy all the things that I have to satisfy with the
25 answer I give you. So Congress comes and says, and Murkowski

1 did the same thing, the lovely senator did the same thing, he
2 nailed Craun and I almost to the wall in that tunnel. Tell
3 me, who's going to tell me this is the place? He said it
4 over and over and over again, and we tried to explain to him
5 what you already know, all of you already know. Can I
6 satisfy all my audiences? That's what we're wrestling with
7 right now, the team we've put together. How do we step out
8 and do that? We may, come up with, we don't know, but we're
9 trying.

10 DR. CANTLON: Let me interrupt you with just this
11 further thing.

12 We pressed Jean to the wall a couple of years ago
13 and asked her to give us some kind of probability statement
14 when TSPA 93 was just beginning to see the light of day, and
15 she hemmed and hawed a little while, but said probably 80 per
16 cent.

17 You know, that's a fairly comforting sort of
18 response and, you know, you may have to sit there and say we
19 don't have really solid scientific data to make such a
20 statement, but in my confidence working with the people who
21 are looking at the numbers, I'd give you; you're going to
22 have to same something like that.

23 MR. BARNES: Remember last year when Dreyfus, how
24 clever, he always uses the term "jiu jitsu" and I see enough
25 gray hair out here, you're going to remember what that term

1 means, using somebody else's power and speed, so he's a jiu
2 jitsu expert. So he goes out last year and says the odds of
3 licensing Yucca Mountain are fifty-fifty, and the chairman of
4 the NRC came unglued. Remember? He was so upset, he said
5 that's not true; it's about 80 per cent. He must have gotten
6 that from Younker. Dr. Younker is one of my favorite people.
7 She's very, very intelligent. My only concern about her is
8 she probably has her resume on the street.

9 DR. LANGMUIR: Langmuir; Board. Can I pursue this just
10 a little bit further here?

11 I'm distressed because my perception now is that
12 the management of the program has less confidence than the
13 scientists and engineers that we speak to about whether the
14 site is suitable. I think if you talk to the TSPA people,
15 you talk to the scientists who have been looking at the site,
16 I'm sure they have more confidence that you're proposing the
17 program should have. Why can't we trust them to tell us that
18 there's a probability that exceeds 50 per cent by quite a bit
19 probably?

20 I mean, I'm concerned, and I will be for--I won't
21 be around to see it--but clearly the long-term thermal tests
22 and the corrosion tests that might have to take place in the
23 repository that was being filled aren't going to be done.
24 Lacking those, I might not make 80 per cent; I might make 70
25 per cent. That's still a pretty good number, and I think you

1 can almost say that now, given what you already know about
2 the site.

3 That's the kind of thing I would be telling
4 Congress; not that I'm going to propose a viability decision
5 based upon your definition here in three years, which is
6 going to be the end of everything financially I'm sure.

7 Why can't you have the confidence that I think your
8 team has got?

9 MR. BARNES: You guys better be laughing out there.
10 You'd better be laughing, every one of you.

11 I'm not going to answer you, but I'm going to tell
12 you a story. When I got here, I was sworn in one year ago
13 this month, within 90 days, I started telling the team that
14 there were too many people involved in the project, and not
15 enough people involved in the answer. Susan Jones, who was
16 in charge of scientific programs, was the only one who ever
17 got up in front of me and wrote on the chalk board before she
18 started talking, "I'm here to end site suitability."

19 In that year, a number of things have happened that
20 I think are positive. Number one, a project manager showed
21 up. It didn't have to be me; just a project manager. Number
22 two, we got our budget zeroed out. I think that was great.
23 It hurt like hell. It hurt a lot of people personally, and
24 I'm sorry for them. But it woke up a lot of folks. And
25 you're right; that team is together. They're standing up and

1 they're part of the solution; not just the project. I'm
2 proud of them. I'll leave it there.

3 DR. CORDING: Jared Cohon?

4 DR. COHON: Just to pursue this further, because I think
5 it's so terribly important. I'm encouraged by what you just
6 said, and it's consistent with everything I've read about you
7 and heard about you. If you didn't think you could do this
8 job still, you wouldn't be here.

9 And also continuing this theme of trying to put
10 words in your mouth, let me try out something to try to
11 understand just where we are at the moment.

12 Would this be a fair characterization of how things
13 have shifted? That your focus has shifted from site
14 suitability to a specific design, a design that's still in
15 development, but that from that point on, the design will
16 really define whatever additional work is done to establish
17 whether that particular design is sufficiently safe to
18 warrant moving forward.

19 And if that's a fair characterization, I would
20 suggest that what that would do is probably make the
21 approach, the current approach of further exploring and
22 studying the mountain less robust in the sense that if in the
23 future the design should have to change in order to become
24 licensed, or because of some issue that comes up, we may find
25 ourselves in the situation not knowing what we'd like to know

1 about the site because we become so design specific.

2 So a two part question. Was the characterization a
3 fair one? And second of all, do you see the same kinds of
4 risks that I see associated with taking that approach?

5 MR. BARNES: Yes and yes. In fact, I think your
6 description of viability assessment is excellent. It's
7 taped, but we probably should write that down.

8 What does it mean? Naturally, there's risk
9 involved. But for the first time, and this is Dreyfus's
10 addition to our thinking, I'm going to walk out and say to
11 you that is the design. See it? There it is right there.
12 Then you can compare that against all the data that I have
13 that I know about this mountain. And if this group, along
14 with the other scientific bodies, say it's okay, it's okay.
15 For the first time, you've got something to work with
16 concrete. That's what we're going to put in the mountain.

17 Does it fit this mountain? Does it make sense? Am
18 I going to poison people in Nevada? All of those answers
19 will now come into reality. And in addition to that, how
20 much does it cost? Pretty good goal. Pretty good goal based
21 on what we've got to work with.

22 DR. CORDING: One comment that's been made, and the
23 statement that's made regarding the viability decision on
24 Page 5 of Dr. Dreyfus's paper is that the viability
25 assessment is intended to clarify the most uncertain aspects

1 of geologic disposal. So that's a term in there. It's not
2 defined as to what that is, but there's that part of it which
3 I think it goes beyond the bullets on the previous page in
4 saying what you're doing.

5 Do you have any comment on what the perspective is
6 on that, the uncertain aspects of geologic disposal?

7 MR. BARNES: Mr. Chairman, I think that was summed up in
8 our last dialogue. You just can't tell till you get there.
9 And does some aspect of this design not fit with the
10 mountain? Would it fit better someplace else? I doubt it,
11 because we're designing for here. But it's those kind of
12 things, they'll come up along the way and we'll have to go
13 get those answers, hopefully.

14 DR. CORDING: One other thing that I've heard some in
15 various meetings and conversations is that this idea about
16 you're coming to a point of design and a case that you could
17 put forward, at least, and continuing an investigation, total
18 system performance evaluation, the strategy development,
19 which is in an environment in which the regulations are in
20 flux, as well as the moisture flow in the mountain. But in
21 regard to, for example, release based things, dose based
22 things, and you're dealing with a viability decision, despite
23 the fact that you don't know whether it's 10,000 years or
24 what sort of dates are going to come out of some of these
25 investigations by the EPA and NRC, what's the perspective of

1 a program on that? I think that would be interesting to have
2 you comment on that, being able to make your decisions in the
3 light of that uncertainty.

4 MR. BARNES: I think as your day goes by, and you're
5 going to see that these PhDs will answer the technical end of
6 it, the political end of it is, just like a few minutes ago,
7 I wasn't complaining about managing the project, I want to do
8 that, saying that laying people off and spending money,
9 something changes and you just have to deal with it. Because
10 the only thing that's constant in my life has changed. Lord
11 knows, I don't I've bit off more than I can chew, but I sure
12 as hell know that I'm eating the elephant in this project.

13 You get more changes walking in the front door;
14 I've never seen anything try to get constructed before that
15 had this many changes. If you were paying for it and this
16 was your house, you start out with \$100,000 house and pay a
17 billion dollars for it. Talk about change orders. So if it
18 changes, if EPA gets that particular regulation written and
19 we have to deal with that, we'll deal with it or shut down.

20 DR. CORDING: Isn't one of the factors that you're
21 considering here that you're really trying to come up with
22 what DOE feels is reasonable? And regardless of what the
23 regulations may be or how they appear to be moving, that
24 there's a basic conclusion by DOE and its scientific groups
25 that you have a reasonable program that's reasonable even

1 though you don't know exactly what the criteria will be, so
2 you're looking at what is satisfying or satisfactory to you.

3 MR. BARNES: Thank you. Yes, absolutely.

4 DR. CORDING: Thank you. We have perhaps a moment for
5 any comments or questions. I think it should be limited
6 certainly to questions from the audience. But is there
7 anyone from the audience or anyone else on the Board and
8 Staff that wanted to make further comment?

9 (No response.)

10 DR. CORDING: Okay. Well, thank you very much.

11 MR. BARNES: You're welcome, sir.

12 DR. CORDING: We appreciate your participation with us.

13 Should we take a break now? Why don't we go ahead
14 and take a break now, take a 20 minute break, and come back
15 and then we'll start with the presentation by Rick Craun.
16 Thank you.

17 (Whereupon, a recess was taken.)

18 DR. CORDING: We're ready to start the presentation. If
19 you'd all please take your seats, we'll be starting.

20 We'll be hearing from Rick Craun, who is the
21 Assistant Manager of Engineering and Field Operations for the
22 Yucca Mountain Project Office. He made our first
23 presentation to us as a Board a year ago at our winter
24 meeting in Beattie, Nevada and he'd been on the project a few
25 months at that time. And he presented at that time, as I

1 recall, his construction goals for 1995, which involved
2 completion of the north ramp in March of 1996, reaching the
3 first drift to the Ghost Dance Fault in July, 1996. They're
4 about a week away from that at present.

5 So as we hear this presentation, I have my own
6 factor that I'm going to use to adjust the schedule and dates
7 that Rick will be presenting to us. But the management of
8 the program and Rick's part in that has been a major
9 contributor, along with the work of the constructor to become
10 efficient and the rock to perform as perhaps as people had
11 hoped, if not expected. So we're looking forward to your
12 presentation to us today, Rick, with that caveat about your
13 schedules. Thanks.

14 MR. CRAUN: Thank you very much, Ed.

15 With that, I'll go ahead and get started. Today,
16 I'm going to cover just a couple of topics; TBM progress,
17 give you a quick summary of '95, a discussion of our plans
18 for '96, and then some of the options that we're considering
19 now for '96.

20 As of January 2nd, we were at 35+53, and as of this
21 morning, we were at 37+61. The second note up there
22 indicates that we may have set some world records. The TBM
23 manufacturers love to keep records on how fast their machines
24 go, et cetera. For a 7 to 9 meter machine, we may have set
25 some records here. That's being confirmed, but just to share

1 with you, the machine is running well. We are doing well in
2 the ground, and the design is matched up well. So the
3 machine is doing excellent.

4 Since '96, we have progressed about 1500 or 1500
5 meters. We have completed the excavation of Alcove 4, and
6 that was in FY96, and we did reach the repository horizon on
7 November 9th.

8 We've also just completed our 1000 hour maintenance
9 exam. There, we did a 500 hour exam, and for those that may
10 remember that, we had to do quite a bit of work on the head.

11 We had just completed the excavation of some fairly blocky
12 ground, so there was a lot of interaction between the rock
13 and the head, so we had a lot of unusual--not unusual--a lot
14 of wear on the head, so we had to reinforce that quite a bit.

15 The 1000 hour exam went much better, much better for the
16 machine. It's running fairly well.

17 Along with this 1000 hour exam, we had the second
18 of our Board of Consultants meetings, and we've been doing
19 some calculations on the percentage of load, how hard are we
20 using the machine. And right now, the calculations are
21 indicating we're really running at about 60 to 70 per cent of
22 our available thrust on the machine. So we're really not
23 over exercising the machine at all. That's really good for
24 main bearing wear and just overall wear of the machine. So
25 it looks like the machine is suited. We're making good

1 progress, and it should have a good long life.

2 Well, I normally put up a curve, which I've got
3 over there at my chair, but it has little charts going up, so
4 I'd switch to a different format this time. The original
5 program plan has this over here. As Ed indicated on the
6 start, we are ahead of schedule. We are right now
7 approaching Alcove 6, the first Ghost Dance Fault.

8 This Saturday, we'll be taking an Alpine miner down
9 to actually the heater test alcove to actually try that. So
10 this Saturday--the baseline is based on drill and blast--if
11 we are successful with this test Saturday and the Alpine
12 miner is able to excavate in Tsw2, we could be experiencing
13 some more schedule improvements. The estimates we got from
14 both Kiewit and the CMO and from TRW is that we might
15 experience a 40 to 50 per cent improvement in our excavation
16 rates. So we're hoping that that is successful. It will
17 allow us to complete the heater alcove much sooner than
18 planned. It will allow us to start some of the most
19 important tests.

20 As you were talking to Wes about earlier, there are
21 several key pieces of data that we're very interested in
22 getting, and one is the heater test. So the sooner we can
23 get that going, the more that will support science, the data
24 acquisition for science. Later on in my presentation, I'll
25 let you also see some of the ways in which engineering is

1 going to use the data from the heater test alcoves. To us,
2 it's one of the most important things we want to get going.

3 So it's nice that the TBM is running well. It's
4 even nicer that it's getting us to those areas where we can
5 get the scientific information that we need in order to
6 confirm some of the hypotheses and the performance
7 assessments and that sort of issue.

8 In the middle there, and you've got it on your
9 handout, it has our best day, our best week and our best
10 month and where the original schedule was, et cetera.

11 I just wanted to go through our FY96 baseline.
12 It's what we started the year with. And then the next slide
13 will give you a little bit of an indication of what we're
14 looking at for how we're going to change it, because in about
15 four days at the current excavation rates, we will be
16 complete with our FY96 goals for the operation of the
17 machine. So we are in the process of revamping those and
18 changing those.

19 But our 96 baseline, we started out about--we were
20 estimating ahead and trying to project where we were going to
21 be. By the time we finished the year, we were 700 meters
22 ahead of that point. So we started out 722 meters ahead of
23 what we were trying to estimate where we might be at the
24 beginning of FY96.

25 Our objective was to continue to maximize the

1 tunnel advance and to minimize cost. We were going to
2 excavate to Station 39+40, do Alcove 4, and excavate the
3 first phase of the heater test alcove.

4 As I was indicating, if we are successful with the
5 Alpine miner, a lot of this excavation, and I'll get to more
6 detail in just a minute, may be accomplished in '96. and also
7 the excavation of the first Ghost Dance Fault.

8 Our original plans for '96 were to complete all the
9 surface facilities, the change house, water system, sewer
10 system, et cetera. That was the baseline for FY96.

11 We just approved this week I believe, this week,
12 the authorization to go beyond 39+40. So we are heading
13 beyond 39+40. How far are we going? What we're looking at
14 is we're trying to balance the cost that the TBM will incur.

15 The scientific programs, for example, we are ahead of
16 schedule and we will probably complete the thermal test
17 alcove ahead of schedule. We've got to make sure that the
18 science is right there behind us and ready to start.

19 So Susan Jones and I are interacting quite a bit to
20 make sure that she's ready, as I'm accelerating it, she's
21 ready. So it's a balancing act, as can she get ready to run
22 the heater test, or do I need to think about shifting some
23 money from TBM operation to science. And those discussions
24 are taking place.

25 It's a very complicated set of discussions because

1 almost every one of our work breakdown structure components
2 is involved in this discussion. TBM operations affects--
3 well, you won't know what the numbers are--it will affect
4 systems engineering, it will affect the licensing people, it
5 will affect the engineering people, everybody in the
6 organization is affected.

7 So as we decide to go on with the TBM operation, a
8 lot of interaction assessment needs to be performed in order
9 to make sure that we give an integrated response that says
10 yes, we can operate beyond 39+40.

11 Again, we did authorize to go beyond 39+40.
12 There's a lot of discussions taking place. I know there's
13 all day meetings today, not here, to discuss some of the
14 details.

15 We're also wanting to--our current baseline is the
16 250 declining. Well, 250 declining, we put minimal
17 construction work in the '97 timeline. And what we're
18 looking at now is if our funding profile changes, what could
19 we do, what should we do, what can we be in the position to
20 do, what is needed to support science. Is there a
21 construction piece that will give us another piece of
22 critical data to help the scientists come up and Jean
23 Younker's group come up with a TSPA that gives a higher
24 degree of confidence that a repository at Yucca Mountain
25 would function properly and safely? So that's the balancing

1 act that's going on right now as we talk. It's supposed to
2 be done this week.

3 Well, this doesn't fit. Yours in your handout does
4 fit, so I'll cut this stuff off on the right here. This is
5 the heater test alcove. And, again, we're going to be
6 starting excavation this Saturday, so we should start the
7 machine up this Saturday.

8 The original dates, and all these dates that you
9 see on this are drill and blast dates. We've looked at what
10 would be the effect, again, of doing an Alpine miner type
11 application. Now, you'll see an ESD, the decoder ring is
12 right over here, estimated excavation start date or estimated
13 test start date. So you'll see starting in January of '96,
14 we should be starting into the little stage or shake-down
15 test area in March, starting back here in April.

16 In fact what we've actually done on both drill and
17 blast and on the Alpine miner, we're trying to look at where
18 we want to put the Alpine miner, so we're really trying to
19 tie the construction sequencing together not only on the
20 thermal test alcove, but on the first Ghost Dance Fault,
21 because in this case, it's important for us to get the shake-
22 down area constructed. It's important for us to get up to
23 the Ghost Dance Fault, not penetrate it, but up to the Ghost
24 Dance Fault so that it can then be penetrated by the
25 scientists.

1 The actual construction penetration of the Ghost
2 Dance Fault will be later on in the year. So we're balancing
3 some sequences of events as to whether or not we go ahead--
4 and we will--start with the Alpine miner here. Then as it's
5 available during this shall we say a potential hiatus as a
6 result of improved construction, we might actually move the
7 machine over to the first Ghost Dance Fault access and start
8 that up to the Ghost Dance Fault so that the scientists can
9 start those tests, and then actually bring the machine back.

10 So we're looking at the sequence of events as to what's the
11 best way to operate or actually to construct the facility.

12 DR. ALLEN: What's the scale?

13 MR. CRAUN: Oh, I'm not sure, but this is, what, about
14 130, 60 meters. 130 meters.

15 DR. ALLEN: From the base tunnel?

16 MR. CRAUN: From here.

17 DR. ALLEN: From there, yeah.

18 MR. CRAUN: I believe those are typically measured
19 centerline of the tunnel, the main drift. It's not intended
20 to be a scale model.

21 And then just to give you a few more dates as to
22 when the tests are going to be starting, et cetera, and Bill
23 will get into this also, you'll see that a couple of our
24 dates, we've asked, because of the original, or we're there
25 sooner, we may be able to build it a little bit faster than

1 we estimated, we're really looking at ways in which we can
2 try to accelerate and bring back in time some of the other
3 activities.

4 So these dates, in my mind, have the potential of
5 changing in order to get them integrated a little bit better.

6 So these dates are not finalized in my mind. But it gives
7 you a good indication as to, you know, these top items are
8 complete. We've got the design. We issued that ahead of
9 schedule. The M&O did a great job of getting that out over
10 the Christmas holiday period.

11 Here's where we're starting the main drift, the
12 penetration from the main drift, and the shake-down test area
13 where we're wanting to get those done. But that gives you an
14 indication of how we're looking at building it.

15 Now, some of the data, what I wanted to do is back
16 up and basically kind of just touch briefly, this really
17 wasn't the purpose of this presentation, but I want to just
18 touch on one of the questions I think the Board was talking
19 to Wes about.

20 It's imperative that we not only build these
21 facilities as efficiently as possible, but we need to always
22 recognize and remember that we're building them for a
23 purpose, to gather data for the scientists and for the
24 engineers. Some of the information that will be used for the
25 repository design, I got ahold of Kal and said, hey, give me

1 two or three items that would help us understand, or that I
2 could communicate and say, all right, in this shake-down test
3 area, this is the type of data we expect to get and this is
4 how we're going to use it.

5 So, again, I always want to bring you back to the
6 fact that we're building these facilities not just to build
7 them, even though I do enjoy building them, we are building
8 them so that we can get access and gather data for the
9 science and for the engineering community. In this case, it
10 will be supporting numerical analysis for temperature
11 distribution and the drift stress for emplacement drifts, et
12 cetera.

13 And then, again, it also supports some of the data
14 that we need for the engineered barrier designs, the waste
15 package design. It will give some corrosion information,
16 water chemistry that will be used in some of our corrosion
17 models. So, again, it's not just to build the ESF, but it's
18 to build it and to gather the data that we can use in both
19 the design and, as Wes was talking to you about this morning,
20 it's not the design of the repository. The way I would say
21 it is a design that is integrated with a TSPA that indicates
22 that it will work. You have a total system performance that
23 says it will work with this design.

24 So it's not the final design, because in my mind,
25 not all of the design will be done. There's no need for us

1 to do some of the things that are very standard. The surface
2 designs are very readily available. There's no point in us
3 taking limited funds and putting it into those features.
4 It's very important for us to make sure that we understand
5 how will we accomplish the retrieval. It's a very key piece
6 of the design of the repository.

7 There are other subsurface design features that
8 are, in my mind, key. Now, those will be prioritized and
9 those will be funded and those will be accomplished. Those
10 items that also support Steve and Jean's area where the TSPA,
11 where we have a critical performance parameter, whether it be
12 the waste package or the engineered barrier system, backfill,
13 which has been a very active topic of discussion. I think
14 you're going to even hear more about it today or tomorrow.
15 Those features that are critical to the TSPA need to be
16 pursued to the point where we understand sufficient data so
17 that we know that we can either build them or make them work,
18 that we understand them well enough to predict their
19 capability.

20 Now, with that, I'll turn over to some photographs.
21 Photographs are always fun. You get to see them. I added
22 one. I cheated. So I don't know if you have these in there.
23 This one will not be in your packet. I went to a briefing
24 yesterday and it was a good photograph, so I said thank you,
25 and I borrowed it. I will return it. I will return it.

1 This is where the entrance to the heater test
2 alcove will be. You'll see that as shown on the earlier
3 chart, and you may not have really noticed it, the heater
4 test alcove is as you're going in, it's on the left-hand
5 side. That's where the conveyor systems are. That's where
6 all the utility systems are. Normally, all the other alcoves
7 have been on the right.

8 Well, what we've done is we've elevated the
9 conveyor system, we're reworking all the utility systems to
10 allow us to mine our way through that. We'll actually
11 excavate through, and then we'll come back and we'll create a
12 little niche and we'll actually excavate back. So we'll be
13 actually excavating from both sides. But I just wanted to
14 show that to you. It gives you a good perspective.

15 They do have lanyards on. I checked to make sure
16 that everybody had lanyards on before I showed you the
17 photograph. They all do have lanyards, so that's all taken
18 care of. But that gives you a little bit of a perspective of
19 how we're going to accomplish that excavation to the left.

20 And I'll go through these fairly quickly. It's
21 more fun to see it in person, but I know some of you don't
22 get an opportunity to see it very often. This I think is a
23 good classic shot of the corner or the turn on the north ramp
24 where we came down the ramp and were turning into the
25 repository. It's just a fun picture.

1 In reality, when you walk down, or when I walk down
2 this, what I see is the geometry and the symmetry and the
3 smoothness and the ability for that machine. It's a well
4 designed, well built, well operated machine. It builds good
5 tunnels.

6 This is Alcove 4. This was done with an Alpine
7 miner. I think we did all this work in I think five days,
8 five or seven days. We broke all of our records, and it
9 looks good when you're all said and done with it. Hopefully,
10 that's what the heater test alcove looks like.

11 Did you have something, Ed?

12 DR. CORDING: Well, I just received a comment from one
13 of my colleagues that said you rock guys are all the same,
14 whispering to me, so I think you can take that as a
15 compliment.

16 MR. CRAUN: Good.

17 DR. CORDING: Knowing your background has been in rock
18 for the last year.

19 MR. CRAUN: I've learned a lot about rocks in the last
20 year.

21 This is again another look at Alcove 4. It is one
22 of our refuse chambers. You see some of the bulk heading put
23 on there, in fact.

24 Just a shot of us starting to do some horizontal
25 drilling for one of the tests.

1 And as Wes pointed out, we have had our Board of
2 Consultants. They've proven to be better than my
3 expectations. Both Wes and I were very much in support of
4 forming the group, and it gives us a second opinion, a very
5 good opinion. I mean, these guys, their backgrounds are very
6 strong. And their first report was very positive. They did
7 start asking a lot of tough questions. Their second visit, I
8 will be honest with you, they asked a lot more interesting
9 questions and there's a lot more opportunity for us to be
10 successful.

11 During the exit of that second visit, they wanted
12 to and we wanted them to focus more on cost effectiveness,
13 efficiency. We feel that the machine is running fairly well.

14 Larry Snyder, one of the Board members, is going to see if
15 he can help us predict some bearing life issues and that sort
16 of stuff. But we're wanting them to help us focus on looking
17 elsewhere, and so we've given them all the data to help them
18 assess how we're doing, and provide us some good critical
19 feedback. And with that, we maybe have some opportunities to
20 make some more changes and to improve our performance a
21 little bit more.

22 And then, again, the next meeting is the 14th of
23 February. With that, does anybody have any questions?

24 DR. CORDING: Questions from the Board? Don Langmuir?

25 DR. LANGMUIR: Rich, I think we've all been impressed

1 with how efficiently this is happening and how quickly you're
2 going. We were appraised the other day about a safety
3 inspection which cost the program apparently, because you had
4 to shut things down because of the way it was done, I gather
5 30 or 40,000 bucks was wasted, we thought.

6 MR. CRAUN: Well, I don't know that I--I was involved
7 with that, I worked with Wendy's people on that and, you
8 know, I've been on other projects where somebody got hurt,
9 and then the recovery costs are incredible, what you have to
10 do.

11 I think it's very important for us to take and
12 demonstrate from a management perspective the right safety
13 culture and attitude. That might have been the best \$30,000
14 I ever spent in my life on this project.

15 DR. LANGMUIR: I think Ed Cording, this is Ed Cording's
16 kind of question, I think he might argue that in commercial
17 use, there's no need to shut a machine down. But, Ed, that's
18 your question.

19 MR. CRAUN: Well, again, I may have been able to
20 coordinate that better. I may have been able to coordinate
21 that better, but we want to make sure that we don't--we're
22 not so worried about production and rate of production and
23 rate of tunnelling that we forget about safety. So if it
24 costs us a half a shift or a shift, it may have been the best
25 investment we made, again. And I think it's important that

1 we, management, support safety, and I do, very much I do.

2 DR. CORDING: Your Board that you have now, your Board
3 of Consultants is very aware of those issues as well, and I
4 think they've been encouraging you and supporting you in the
5 effect of safety operations.

6 MR. CRAUN: I have not talked to Jack about that issue
7 too much.

8 DR. LANGMUIR: Did the Board suggest that you shut the
9 machine down for the safety inspection?

10 MR. CRAUN: No, not at all. Not at all. I think the
11 Board was very pleased in what they saw. The words that I
12 got back, and the words that are captured in the report also
13 are saying that it's an efficient operation. They talked a
14 lot about how well integrated we are, being able to do above
15 construction concurrent with tunnelling.

16 We have had a few people hurt, minor injuries, in
17 the TBM. Some of them, in my mind, were careless. Some of
18 them might have been able to be avoided. Again, I just think
19 I will be tenacious in my position and say it's imperative
20 that we not hurt anybody significantly on this project. It
21 will shut us down just as quickly as money can shut us down.

22 DR. CORDING: I was interested in your schedule on the
23 ESF--excuse me--on the thermal facility. You're indicating
24 that you feel you can make more, or may be able to make more
25 progress with the road header or the Alpine miner type

1 equipment.

2 MR. CRAUN: Yes.

3 DR. CORDING: Which is a mechanical miner. In looking
4 at it, I recognize as you go in and do the alcove, the first
5 alcove to the right, there are construction niches--well, no,
6 the shake-down and stage alcove off to the right, and then as
7 you go in and get set up for the sequential drift mining,
8 there may be some time that's required to devote to that as
9 opposed to being able to continue to advance around and get
10 to the thermal test drift itself. And I think of course the
11 focus is on obtaining the information you need out of this
12 drift, and I think, to me, one of the real priorities is that
13 heated drift. There's some of the other types of test are
14 things that can be done almost in parallel or target of
15 opportunity sorts of things, and I'm wondering if there's
16 some opportunity to get to that heated drift setup sooner
17 than what you show here.

18 MR. CRAUN: Well, if we are successful, and I brought
19 another slide thinking you might ask that question--I'm
20 trying to do my homework--if we are successful with the
21 Alpine miner, we might be able to make the first 150 meters
22 on the heater test alcove by more like Aprilish, and these
23 are ifish dates. Don't hold them to me, but if we're
24 successful, if it's working as well as we anticipate, we
25 might then be able to have the first 125 meters of the Ghost

1 Dance Fault by June, and then December on the last 45, and
2 then come back on the 95 meters of the heater test alcove.

3 It's also a function, going back to the previous
4 slide, is a function of getting really the testing in the
5 shake-down test area, so that the scientists can go ahead and
6 finish engineering or designing, specifying the equipment
7 needed in the main drift and the drift test.

8 DR. CORDING: Can we get a copy of that other overhead?

9 MR. CRAUN: For you, Ed, yes.

10 DR. CORDING: Recognizing that it's a possibility rather
11 than a commitment.

12 MR. CRAUN: Okay. But those are estimates. I mean, if
13 you give me a week, we'll be able to, this Saturday, we'll
14 have the mechanical mining equipment underground. We had a
15 Low-Boy failure. I really wanted to have it down there last
16 Saturday so I could give you another piece of data. But
17 anyhow, our Low-Boy failed. So we'll have it down this
18 Saturday, so within one day, we should have at least a first
19 cut impression of how it's going to function.

20 DR. CORDING: Well, the rock, you're working in rock
21 that's relatively hard with respect to its mineability, if
22 you will, mineability with that type of equipment. But
23 apparently you've gotten about the heaviest piece of
24 equipment you can find, which is key to being able to handle
25 that type of rock.

1 MR. CRAUN: I was also told that it's fairly fractured,
2 so that will help it make its way through.

3 DR. CORDING: I think your plans are certainly in flux
4 or progressing as you think about how you're going to take
5 advantage of the progress you've made. As you've indicated,
6 you're still working with that. I think we'll be interested
7 in hearing about how far do you think you're going to go with
8 the TBM. Are there other options on excavation, to cross the
9 block, for example? Can you get to the thermal test to Ghost
10 Dance sooner? Those sorts of things. As I understand,
11 you're really trying to work through that at this point.

12 MR. CRAUN: If we were to continue on three shifts a day
13 on the TBM operation, daylighting the machine at the south
14 ramp, the south portal, but that may not be the right
15 combination. Maybe the correct combination would be maybe
16 two shift of operation of the TBM; take the money from that
17 third shift and put into working with Susan on accelerating
18 some of the test alcove experiments, some of those things.
19 So that's the balancing act. If I'm just there to build a
20 tunnel, then we could get it done a little bit sooner, but we
21 may actually slow it down a little bit.

22 DR. CORDING: And I think the key thing that we've been
23 looking at as a Board or thinking about is the sorts of tests
24 particularly related to water flow, moisture conditions, age
25 dating, those sorts of things, really, I think the reason

1 you're down there, and I think that's what I think we're
2 certainly interested in hearing.

3 Now that you're getting there, are you being able
4 to take advantage of it? It's obviously a difficult task
5 with the budget situation you're involved with.

6 Any other comments from Board? Yes, John Arendt.

7 DR. ARENDT: Since safety has been mentioned, I'd like
8 to compliment you on the fact that production is not being
9 compromised at all and that you are assuring that safe
10 operations are being performed.

11 Now, in that regard, what is your accident
12 experience, personal injuries, lost time accidents? Are
13 there records being kept by the contractor? And what kind of
14 experience are you having?

15 MR. CRAUN: Yes, sir, records kept, and I don't have
16 those off the top of my head so I'm going to answer you as
17 best I can. I'm more than willing to get you that data. We
18 do have a sign posted as you come into the pad area as to the
19 number of days since our last lost time accident, et cetera.

20 The last one I was involved with was a hammer fell
21 down and broke or crushed a finger. So those are the types;
22 they've been more minor in nature. We had a skill saw
23 accident. So they've been fairly minor in nature, although
24 not to the people that got hurt, obviously, but those did
25 both result in, as I recall, in lost time accidents. But if

1 you're interested in the lost time accident data and the
2 accident data, we keep track of that and we do monitor that.

3 DR. CORDING: Yes, Don Langmuir?

4 DR. LANGMUIR: Ed Cording asked some questions about how
5 you would shift the money around, so I think that question
6 got answered for me, that you might take a third shift to
7 support some science and get it started earlier.

8 MR. CRAUN: That's right.

9 DR. LANGMUIR: Just a minor point question; what
10 materials are going into the tunnel now that are going to
11 stay there if it becomes a repository? In particular, I was
12 looking at the floor, and I presume that that's simply
13 cuttings from the tunnel boring machine that are used to
14 floor the tunnel. What is down there? What's going in
15 there?

16 MR. CRAUN: That's an invert. It's an invert.

17 DR. LANGMUIR: Right.

18 MR. CRAUN: We manufacture that invert. The current
19 design has the invert as a temporary device. There is a
20 design which will allow us to, especially on the rib area, on
21 the non-rib area, it's easier and one can imagine how one
22 takes an invert out and actually removes it from the ESF. In
23 the ribbed areas, there is actually a design which will allow
24 us to span across above the invert and hold the ribs in
25 place, and then go ahead and remove the invert.

1 The ribs, the rock bolts, the wire mesh, the
2 channel, the lagging is all classified as permanent. So it
3 came with the QA program. It is intended to be a part of the
4 repository. Now, that may not be the final design. For
5 example, we may line it. You know, one might say that if
6 you're expected a 130-some year operations period from the
7 time you start loading fuel to the time you actually close,
8 one, if it's a viable repository, that a rock bolted system
9 and a rib system may not be the best system to have. The
10 current design--I'll just go back to my statement--the
11 current design does have them as a permanent part of the
12 repository, and that is why they are Q.

13 Now, we've put a great deal of effort on the ribs
14 themselves. We've gone from a W8, we've also put together a
15 design for a W6. I believe when we first started, and I'm
16 going back a little bit in memory so I may get some of the
17 numbers a little softer than I'd like to, but I believe we
18 had about a 300 per cent improvement, or reduction in the
19 cost per rib. When we first started manufacturing, I believe
20 we were doing mag particle on all of the Phillips welds on
21 all of the W8s, and we've been able to refine that down to
22 more critical welds.

23 And so the program, the M&O, TRW and the team mates
24 have really rallied together to help us pull those
25 requirements down. In fact, we are in the process of again,

1 I think Alden Segrest, I don't know that I see too many of
2 the design folks here--good, they're off designing--they've
3 just now reissued all of our tunnel support specifications
4 yet again, and the purpose of that was to really help us as
5 we gain experience to focus in on those critical performance
6 parameters that needed to be validated in the QA program, and
7 focus just on those. So we've been able to get our
8 construction efforts, the record efforts on what kind of
9 records we keep on the installation of these devices, we're
10 continuing to work that to what we consider to be a more
11 optimum set of data. And that's really saved us time and
12 money.

13 DR. CORDING: I know you had looked at a shaft drift
14 option for potential Calico Hills exploration. What is the
15 status of that at the present?

16 MR. CRAUN: Well, right now, there's not a lot of
17 activity going on, Ed. I think we're looking at several
18 different options. I mean, unfortunately, our focus is a
19 little more--I don't want to say short-term--'97 is really
20 what I'm really trying to focus on.

21 As you were mentioning earlier, there's some
22 discussion of, you know, how far up the south ramp do we go.
23 Do we try to build a north ramp extension? How would we do
24 that? Would we do that with our 25 foot TBM? Would we do
25 that with an alternate machine? Would that be a fixed price

1 type activity? A lot of those discussions are taking place.

2 Calico Hills is still in the discussion. It's not
3 off the plate yet, but there's been no formal--we have not
4 started the design for that shaft, nor for the cross-drift.

5 DR. CORDING: Thank you. Other questions from the Board
6 or Staff?

7 (No response.)

8 DR. CORDING: I want to thank you very much, Rick, for
9 your presentation.

10 MR. CRAUN: Thank you.

11 DR. CORDING: At this time now, we'll continue and we're
12 getting a status update from Jean Younker on the waste
13 containment and isolation strategy. Jean is the manager of
14 Suitability and Licensing Operations for the M&O, and she'll
15 give us an update on progress being made with the editing of
16 the waste containment and isolation strategy, which has been
17 developed over this past year, and even past months, and
18 perhaps some reflections on the modifications that have
19 resulted from comments received as a result of reviews of the
20 developing strategy, the internal reviews.

21 So, Jean, as usual, we look forward to your
22 presentation.

23 DR. YOUNKER: Thank you. I appreciate that
24 introduction.

25 You've probably said some of this. I was busy

1 trying to get hooked up here to the microphone. This
2 strategy has been under development, as you know, for a year.

3 We talked about it in kind of a very early form in the
4 Beattie meeting a year ago, and then we previewed the actual
5 text version as it was evolving in the October meeting. That
6 was before it had been, or I think it was about the same time
7 it was transmitted to DOE formally to start the DOE review.
8 And that review was conducted in October and November of '95.

9 We've had a lot of just excellent interaction, in
10 my view, during informal comment resolution meetings, talking
11 with the reviewers and trying to understand their concerns,
12 trying to understand the technical information that they
13 thought we had missed as we put the document together, and in
14 turn, trying to help them understand what we thought we had
15 put together for them.

16 So it was really, I think to me, this was one of
17 the real advantages of finally getting the text written,
18 getting something down that people could comment on, and then
19 we expect to get the final revised text coming out of that
20 review and the comment responses to DOE reviewers, and this I
21 could have updated late last night to tell you, I don't think
22 we're going to make it this week, but we're certainly within
23 a week of getting it to DOE. So we're into the final
24 revisions. As we go through discussions with the commenters,
25 I think there will be a few additional changes to the text,

1 and my guess is probably next week, I'll be able to transmit
2 the final revised text.

3 I already commented on this a little bit, but the
4 benefits of putting the strategy down on paper in more detail
5 than what we've had it in the briefing packages that you have
6 heard us present here, was that it really forced us once
7 again another level, I think, of integration of performance
8 assessment with the site and design activities. And that of
9 course is something that you all have been telling us we
10 needed to figure out ways to make that happen over the years
11 that we've been talking with you about the project
12 activities.

13 I think it also, and this is probably to me the
14 most important thing on this slide, and that is that it
15 really got us into a position of looking at what we've
16 learned to date and really trying to figure out what it means
17 in terms of safety of the site, both with regard to the kind
18 of engineered system that you're going to put at the site, as
19 well as the way the natural barriers will perform.

20 So I think it forced a lot of go back and look at
21 what do we really know, and then, likewise, what don't we
22 know, where are our key questions remaining. And that leads
23 you then to what still needs to be done to really sharpen up
24 some of your--the validity of some of the pieces of the
25 arguments in the hypotheses that kind of portray the

1 strategy.

2 And then also help us focus on getting the needed
3 information efficiently. I think you'll see as I run through
4 the elements of the strategy this time that I think we have a
5 bit more detail into what are the key pieces of the
6 information or the hypotheses as they break out for each of
7 the elements in the strategy. That's been sharpened through
8 the review process, as you would expect. So I think we have
9 a little bit better definition of the remaining work or the
10 tests that need to be done.

11 Going back and reviewing very briefly, the
12 objective of the strategy was to provide projections of the
13 containment and isolation capability that's adequate to
14 support a near-term decision whether to proceed with
15 repository development.

16 We, of course, are operating within this framework
17 that you heard Mr. Barnes talking about with DOE needing to
18 get some kind of an investment decision, viability
19 assessment. You've heard the various names that we've been
20 using over the past year as we've wrestled with what we were
21 going to do with this last set of adjustments the program has
22 gone through.

23 And so one of the key objectives was to get the
24 information focused in a way that you could really do a
25 safety assessment of the site in a defensible manner on the

1 basis of the information that you were able to pull together
2 at whatever point in time you need to do that.

3 For the purpose of this strategy, we define waste
4 containment and isolation in a fairly broad sense, meaning
5 the containment part is to contain the waste for thousands of
6 years during the high-inventory and high-temperature period
7 of repository performance. And the second part, the
8 isolation part, to limit the dose to any member of the
9 general public at any time. So we have the two parts or two
10 goals of the strategy.

11 And although I think I've said this before to you,
12 it's not based on a set of standards per se, we are
13 consistent with the recommendations that the NAS panel gave
14 about how the standards should be written, in that we've
15 looked at the longer time frame. We have moved away from
16 just looking at the 10,000 year cumulative release type of
17 standard, to looking at the dose rates.

18 And the approach that's been taken hasn't changed
19 much since the last time I briefed this, other than I think
20 it's getting crisper each time that we go through another
21 review and discussion of it.

22 The performance assessment calculations that we're
23 basing our understanding on lead us to believe that there's a
24 set of mechanisms operating that could result in very long
25 containment at this site. And of course you know the

1 strongest driver on that is how dry will it be for how long,
2 how dry will the packages be. And that we will get, if you
3 look at the nominal release that is predicted or the doses
4 that are predicted from TSP in '95, you see that you're in
5 the hundred millirem per year in the background level of
6 doses for the nominal case.

7 And so the approach was then to use that to look at
8 the subset of factors that you could validate through near
9 term testing and analysis, and to carve that out then in
10 hypotheses related to those original five attributes of the
11 system that you've heard me talk about before, which to run
12 through them quickly, little seepage into the emplacement
13 drifts gives you that dry environment for the engineered
14 barrier performance to occur within. That leads you to then
15 the potential for containment for thousands of years.

16 Given that containment for thousands of years, at
17 the time that you do have any breached packages, the basic
18 environment, together with the low flux, gives you low
19 mobilization rates from those breached packages, therefore
20 giving you limited release from engineered barriers, both
21 because the waste packages are still there for a long time,
22 at least parts of them are still there, together with any
23 kind of other engineered barriers you may add, like, as Rick
24 Craun suggested, looking at the potential for using backfill
25 or some other type of engineered material in the drift around

1 the waste packages that will add to help limit the release,
2 and finally, the dilution that you get during transport
3 through the natural barriers.

4 I have one slide for each of those system
5 attributes that then states the hypotheses, and this is where
6 I think there's been a little bit more detail evolved in
7 terms of what specific hypotheses can you test in the fairly
8 near term to get a better handle on the validity of this
9 overall approach that's being laid out here.

10 The hypotheses for seepage, stated simply, the
11 percolation flux at the repository horizon is low; much less
12 than the bounding value that we've been using of .2
13 millimeters per year, as supported by current information.
14 The second piece of that then, the seepage rate into the
15 drifts will be a small fraction of this amount, whatever that
16 amount ends up being, because of the effects of capillary
17 forces causing the water to not want to move into that large
18 opening. And, you know, we've known this effect existed for
19 a long time. What we're now doing is focusing in on what
20 kind of reduction would you get from whatever the percolation
21 flux is, due to the presence of the underground openings.

22 For the containment hypotheses, it's broken out now
23 into four kind of succinct elements; the amount of liquid
24 water actively contacting the waste containers will be small,
25 as a result really flowing from the previous hypotheses. The

1 humidity in the vicinity of the waste package will be low for
2 thousands of years. This is one that gets into the whole
3 area of what kinds of response will you see in the host rock
4 due to the heat from the repository, and the various
5 predictions for how long the relative humidity will stay low
6 are very key.

7 Corrosion rates for all mechanisms will be
8 negligible under low humidity. And then, finally, the outer
9 barrier of the waste package will provide cathodic protection
10 for the inner barrier for thousands of years. You'll recall
11 from the presentation that Bob Andrews gave at the last
12 meeting, that this whole question of what kind of prediction
13 you get by using that two layer waste package system is one
14 that became really important in waste package performance as
15 a part of TSP in '95. And this is one that it looks as if it
16 can really buy you a lot of performance for your engineered
17 system.

18 The hypotheses related to mobilization; flow rate
19 of the water that can contact the waste in the breached waste
20 packages will be low. The solubility of neptunium is orders
21 of magnitude below the current bounding value. You know that
22 the radionuclide that gives us the largest, the highest doses
23 in the long term calculations of course is neptunium, and
24 that's because of the values that we're using for the
25 solubility of that species.

1 There are some reasons to believe that those values
2 may be high for our specific environmental conditions. And
3 so if it turns out that we move in that direction toward
4 lower solubilities, then clearly the radioisotope that plays
5 the largest part in our peak doses in the long time frame
6 could become less of a problem for the site.

7 Current values for spent-fuel dissolution rates
8 provide reasonable bounds. That's something that I think we
9 have fairly decent confidence in right now. And colloids
10 formed during dissolution of spent fuel do not remain stable
11 under repository conditions. This is one that in my last
12 presentation, I think Dr. Langmuir helped me with to remind
13 me that this was probably one, in his view, that we should
14 not be spending a lot more time and be real concerned with.
15 I think that was a fair representation of what you told me
16 last time.

17 For transport through the engineered barriers, the
18 hypotheses are seepage into the emplacement drifts will be
19 insufficient to saturate the engineered barriers, so you'll
20 end up with thin films. You'll end up with discontinuous
21 water films. Diffusion coefficients for transport within
22 that waste package will be very small, and that the backfill
23 materials have very small diffusion coefficients for
24 transport on surface films. And this is, of course, assuming
25 that you are going to look at the value of adding backfill,

1 not that we've made the decision that backfill will be used.

2 And that contaminants will precipitate in the pores. If you
3 do get some dissolution in the materials moving with the
4 water, there's the potential for evaporation or for chemical
5 reactions to occur and actually precipitate those
6 contaminants out in the pores.

7 For the last piece of the puzzle, for dilution, the
8 flow rates of water contacting the waste will be low. We've
9 carried that all the way through, as you know. Flow in the
10 saturated zone is much greater volumetrically than the flow
11 contacting the waste, and that you will get strong mixing
12 when any of the water moving through the unsaturated zone
13 reaches the saturated zone. You'll get mixing below the
14 water table. So that puts together the pieces for dilution.

15 In terms of what the recent observations in the ESF
16 mean to us, I think that emplacement-drift seepage is
17 recognized by all of you and all of us to be so important to
18 containment, mobilization, EBS transport, dilution and,
19 therefore, it's just crucial to the strategy.

20 I think the strategy is motivated by the ESF
21 observations that support the very low flux rates in the
22 Topopah Spring. We had already presupposed, if you look back
23 at the environmental assessment for Yucca Mountain and at the
24 site characterization plan, there are some assumptions about,
25 based on current information at that time, what kind of flux

1 rates we would see in the Topopah Spring, and it sure looks
2 like as if the general conceptual model we have for the site
3 is coming through the set of observations quite well.

4 It looks like one new piece of information that
5 you're aware that we're getting is the age of the fracture
6 coatings that we're finding in the ESF as well as the pore
7 water dates. And the oldness, the age of those dates being
8 100,000 and older is certainly something that we're going to
9 have to put together as a part of our current understanding,
10 but it does fit quite well with that conceptual model that
11 we've been carrying forward.

12 Lack of dripping fractures is an important
13 observation that helps to support the strategy, I think, and
14 then the new indications, recent indications that flux may be
15 diverted by the Paintbrush non-welded unit. How extensive
16 that diversion is, over what time frame it's operated and
17 over what time frame it would continue to operate, given
18 climatic changes, obviously is a key piece of information.

19 There are the cross-cutting issues that we haven't
20 embedded in each element of the strategy, but we obviously
21 have to look at, such as the thermal effects. And in terms
22 of moving forward in the near term, I think we've become
23 convinced that you have to rely on the short-term thermal
24 testing and then on the waste packages providing adequate
25 containment during that thermal period. And information I

1 think is leading us to be fairly confident that we can get
2 that kind of performance in this environment.

3 For the climate change question, we clearly will
4 have to develop bounds on pluvial infiltration rates, look at
5 sensitivity of our hydrologic models to higher infiltration
6 rates, and then get at what is the signal, what's the message
7 we should be getting from the ages of the fracture coatings
8 and the pore water that are apparently so old.

9 For tectonics, seismicity and volcanism, our
10 potentially disruptive scenarios, we're at the point now for
11 most of these to just get at risks by taking our information
12 and looking at the occurrence probabilities to predict
13 consequences, and get at the consequences and the potential
14 impact that has on the releases.

15 I think we've pretty much, except for moving into
16 the longer time frame, we pretty much have the information
17 and the view of the authors of the strategy, at least to move
18 forward with those consequence predictions.

19 For human interference, demonstrate that the site
20 is not a likely target for future resource exploration or
21 development. And that's been a position I think that we've
22 taken from the very early days of the environmental
23 assessment.

24 The strategy builds on previous work and is
25 supported we think by the ESF observations so far that are

1 suggesting the very low flux at repository horizon levels. I
2 think the strategy tries to get at the key issues and points
3 to what can be done to address them; provides a tool for
4 integrating the pieces of the puzzle, the performance
5 assessment, the site characterization testing and the design
6 activities.

7 And we think that by focusing on what is important
8 and testable, the strategy gives you a way to evaluate
9 performance to support these near-term decisions that DOE
10 will be facing about viability and the potential for
11 continuing Yucca Mountain as a repository.

12 Thank you.

13 DR. CORDING: Thank you, Jean. Questions? Okay, yes,
14 Don Langmuir.

15 DR. LANGMUIR: Langmuir; Board. I enjoyed it, Jean. I
16 think it's really moving along. It was moving so fast in
17 fact that I have to ask questions of clarification.

18 DR. YOUNKER: Sorry.

19 DR. LANGMUIR: But on your seventh overhead, and I'm
20 going to just go through by numbers here, one of the Board's
21 concerns, and I thought the program's concerns, has been the
22 need for long-term testing of corrosion at high relative
23 humidities. And I wonder if you could just comment on this.

24 My sense was that you had one of the labs, this was
25 Livermore, doing or setting up to do a bunch of long-term

1 corrosion tests. Is that, do you think, necessary or not?
2 My sense was there was large uncertainty related to the rates
3 of corrosion at high humidities, particularly at temperatures
4 above, say, 70, 70 to 100 degree celsius.

5 DR. YOUNGER: You're talking about at high humidity?

6 DR. LANGMUIR: Yes, at high humidity, and my guess is
7 with all the moisture in the system, you're going to be at
8 100 per cent relative humidities, even if the temperatures
9 are high, essentially all the time, given the water present
10 in the system. Could you comment on that, and comment on
11 your first two bullets in that connection--your second and
12 third bullets, rather?

13 DR. YOUNKER: I'm certainly not enough of an expert on
14 that topic to comment very much, except to say that I think
15 the calculations that we did both as a part of TSP in '95 and
16 some that Tom Buscheck has done suggest that you will see
17 relatively low, I mean in the 50 to 60, maybe 60 per cent
18 humidities, and that at those humidities, the corrosion rates
19 go through that inflection point.

20 You know, the kinds of materials we're looking at,
21 my understanding is that you will see a greatly decreased
22 corrosion rate when you get below about 60 per cent humidity.

23 But I do have people in the audience who could answer your
24 question and I'd be very pleased to call on one of them to
25 give you more detail if you'd like me to do that.

1 DR. LANGMUIR: Sure. Let me just make an argument
2 first, and then maybe you could ask someone in the audience.

3 My sense would be if you're going to close off the
4 repository at some point, which you will, and stop
5 ventilating it, the sufficient moisture in the system, you're
6 going to come to relative humidities of 100 per cent with the
7 water that stands in the pore spaces in the material once you
8 close it off, at whatever temperature you come to.

9 DR. YOUNKER: Once the temperatures have gone through
10 the--

11 DR. LANGMUIR: Yeah, once you get below 100 degrees,
12 then you're in that zone of high corrosion.

13 DR. YOUNKER: There's people who are very familiar with
14 the modelling that we have to support that that are in the
15 audience, probably Dr. Clark.

16 DR. CORDING: Bill Clark?

17 DR. CLARK: Bill Clark, Livermore.

18 Don, I guess maybe the latest work that we've been
19 doing in terms of modelling the repository and a layout
20 itself is localized disturbance thing that Tom Buscheck has
21 been working on. There's an indication that in fact we can
22 get that relative humidity down extremely low, down into the
23 10, 20 per cent range. Backfill may be something that will
24 help. Backfill may not be necessary. This is something that
25 the modelling work is ongoing now. This is the purpose of

1 the underground heater test.

2 Jean was very accurate. For most materials,
3 corrosion allowance materials, alloy steel as an example, or
4 basic steel, there is a very, very sharp transition at 60 per
5 cent relative humidity, below which if you get there, you can
6 essentially cut most of the corrosion off, as we know it now.

7 We have a very, very comprehensive extensive test facility
8 being put in. We are looking at immersion. We're looking at
9 high humidity above the immersion bath on a whole host of
10 different kinds of configurations and materials that are in
11 the program now that are all candidates. We are also looking
12 at extremely low relative humidity, high relative humidity,
13 et cetera.

14 We think right now, based again on models, yet to
15 be proven, yet to be tested, that we can in fact keep those
16 drifts dry, dry being well below 60 per cent relative
17 humidity, for tens of thousands of years. Once we can get
18 underground, once we can start some of those tests, once we
19 can do some of the backfill studies that the systems people
20 are now setting up and which we will do some of that work
21 also, then we can either say yea or nay.

22 In addition to that, there is some activity been
23 restarted again, and it's looking very good in terms of doing
24 things like ceramic coatings on the outside of these things,
25 very thick coatings. If we can move forward with that and

1 that turns out to look like something that is feasible, we
2 wouldn't worry so much about those instances where we would
3 get some high relative humidity in some of the drifts.

4 So right now, all I can tell you is the models are
5 indicating that we have a very good opportunity for design to
6 keep low relative humidity. We have materials testing that's
7 going to show that if that in fact happens, that this
8 material will last for a very, very long time, we have to
9 prove the models when we go underground. And that why, and I
10 know you mentioned it earlier, it's so imperative and
11 critical that we get these large scale tests going.

12 DR. LANGMUIR: Do you really need large scale tests,
13 Bill, to answer the question that I posed, which maybe you're
14 not concerned about, that you are liable to reach 100 per
15 cent humidities relative to any water there, which will be
16 there, once you put your waste packages in? I can see if
17 you've got backfill and you're really cooking the backfill up
18 with a canister, you may be below 100 per cent because
19 there's no liquid water anywhere near you, and you're in a
20 thermal gradient, less likely so if you have an air space
21 around the canister and no backfill. Do you agree with that?

22 DR. CLARK: Yeah, but we're going to look at this as we
23 start the large scale underground heater test. You know, the
24 modelling indicates we're going to drive that water away and
25 it's not coming back. You know, whether we can really do

1 that or not, whether that really happens in real rock is yet
2 to be seen. But everything indicates that if we lay the
3 repository design out in such a way that the water in fact
4 has to be driven away at the high temperatures and has a way
5 to get out of there, a way to exit by shedding, by
6 evaporation out the top or whatever, we don't think we're
7 going to have water on those waste packages for a very, very
8 long time.

9 When it comes back, of course, that's now getting
10 back into what Jean was talking about with cathodic
11 protection. Remember the packages are cooler and how
12 corrosion kinetics are down quite low, all different types of
13 thing happen. But, again, if the modelling is correct and
14 the testing we've done so far is accurate, it would indicate
15 that that's going to be a very, very long time, well beyond
16 the regulatory period.

17 DR. LANGMUIR: Are you talking about 10,000 years,
18 100,000 years, do you think?

19 DR. CLARK: Well beyond 10,000.

20 DR. LANGMUIR: Are you getting up towards the most
21 recent dates we're concerned about, millions of years?

22 DR. CLARK: You mean million?

23 DR. LANGMUIR: I had a few more if I might. These are
24 shorter.

25 Jean, on overhead Number 8, one of our biggest

1 concerns obviously for the long-term repository is what
2 happens to neptunium. And I guess it went by so fast that I
3 didn't understand what your bullet meant. Could you explain
4 what Bullet Number 2 is there on neptunium?

5 DR. YOUNKER: It's just being presented as a piece of
6 the hypotheses that says mobilization rates will be low. And
7 we think, as you pointed out to us I think, that there is
8 some evidence now that the solubility that we've been using
9 is too high for this particular environment. And so that
10 would be one of the key things that we would try to drive out
11 of the strategy to do whatever you can do to establish
12 whether or not the solubility value is too high.

13 DR. LANGMUIR: Something else that was brought to the
14 Board's attention was the possibility of looking at neptunium
15 in terms of the total inventory in the fuel, and then
16 considering how much you'd get in groundwater in you release
17 it as a percentage or a fraction of total inventory as a
18 function of time. And that might bring you back up again to
19 some higher values. That's something that you might want to
20 think about looking at.

21 Finally, one of the very important observations for
22 Congressmen going down in the tunnel and for us on Friday is
23 going to be that it looks dry. But one of our concerns is
24 that the ventilation is doing that, and that without the
25 ventilation, maybe it isn't so dry. Now, you've got age

1 dates, which I'm very encouraged about. I'd like you to tell
2 us something more about those age dates, suggesting that
3 fracture coatings perhaps are 100,000 years old or older. I
4 presume that's dead C-14; is that how that's been observed?

5 DR. YOUNKER: Your next talk--

6 DR. LANGMUIR: Dennis is going to talk about that?

7 DR. YOUNKER: Dennis is going to talk about it.

8 DR. LANGMUIR: Okay, that's extremely important I think
9 to us, is whether in fact it will be dry when you turn off
10 the ventilation system, and if you miss some things that you
11 would observe in terms of seepages if you had that
12 ventilation turned off.

13 DR. YOUNKER: The question of what the ventilation is
14 doing and whether or not you could, you know, it could cause
15 you to not see seepages that are there is one that I think we
16 from the strategy would drive as very important, and I know
17 that in some of the prioritization that's going on right now
18 as to what additional scientific program testing work could
19 be done as we shift dollars around, that's one that I think
20 is going to get high priority.

21 DR. CORDING: Leon Reiter; Board Staff.

22 DR. REITER: Jean, Leon Reiter, Staff. I have a couple
23 questions.

24 The first one really has to do with sort of
25 independence or interdependence of the hypotheses fatal

1 flaws, and that is, let's put it this way, if you look at the
2 hypotheses, it seemed that in every one, a critical thing is
3 little amount of water getting through. And I think we're
4 all encouraged by the fact that the water you find and the
5 dates, the age of the water you find now seems to be on the
6 order of 100,000 years. I guess this is sort of a what if
7 question. What if that's not true or what if it doesn't
8 happen, to what extent would this be a really fatal flaw of
9 the repository, planned repository, given the fact that it's
10 mentioned in all the hypotheses, if the infiltration was a
11 lot higher, particularly in climate change?

12 Now, I know that some of your own climate people
13 have told you you can expect up to four times as much
14 precipitation as we have now. I guess associated with that,
15 and maybe Abe can tell us that, at what point would the
16 infiltration rate become a serious problem?

17 And the second question has to do with the last
18 hypotheses, dilution. I'm not a hydrologist, but I've heard
19 it said enough times that it's going to be very difficult for
20 DOE to establish really what the dilution in the saturated
21 zone is. If this is true, what does it place upon you
22 conceptually and numerically?

23 DR. YUNKER: Okay, let's start with the first part of
24 it. Refresh my mind.

25 DR. REITER: It has to do with the importance of the

1 fact that there's always going to be a low infiltration rate.

2 What significance would be a higher, and how much higher
3 would you start getting into trouble?

4 DR. YOUNKER: Let me answer part of it, and then I'll
5 see if Abe wants to say something about the TSPA and what it
6 tells us.

7 This is a strategy for a dry site. I mean, it's a
8 strategy for Yucca Mountain, taking everything we know about
9 Yucca Mountain and trying to put together the best kind of
10 case you can make for the way we think the system will
11 function. And I think in terms of how much flux would be too
12 much, you know, what would cause the system to fail, you
13 know, I always go back to the question of how much is it
14 worth to you. I mean, there are probably all kinds of
15 compensating things you could do and trade off if you end up
16 with evidence that suggests you do have a lot higher flux.

17 Everything we have found to date, and all of our
18 modelling that we started out with in the late Seventies and
19 early Eighties suggests that's probably not going to happen.

20 But, you know, we obviously have to consider it, and the way
21 you do it is to do sensitivities on that issue and
22 performance assessment.

23 Abe, do you want to mention what we've looked at in
24 terms of the impacts of climate change?

25 MR. VAN LUIK: This is Abe Van Luik, DOE.

1 Yes, I would like to refresh your memory. If
2 you'll look at the charts in the TSPA-95, for example, that
3 go for very long times, you see some undulations which are
4 from periodic climate changes where we do double and
5 quadruple the amount of water coming into the system. So
6 basically, the things that we have analyzed so far do not
7 address the scenario, except for the most optimistic cases on
8 the left-hand side of the chart, you know, of the CCDFs that
9 we have calculated.

10 The left-hand side would correspond to what this
11 new data is suggesting may be the case. The right-hand side
12 where the consequences become a little higher, but still not
13 extremely high, from our perspective, already indicates the
14 types of fluxes that we would see if this new data is not
15 true and if we are pushing water through at the rate which is
16 physically possible in the mountain.

17 So I think in TSPA-95, we have actually already
18 bounded both what the new data suggests and what you're
19 suggesting, that it may not be true. That's my reading.

20 DR. REITER: I thought somebody said that if you achieve
21 certain infiltration rates, there would be problems, and you
22 were sort of limiting those rates based on your information.

23 I'm trying to find out where would you really begin to have
24 problems? What kind of infiltrate rate is it? Is it 1
25 millimeter, is it 5 millimeters?

1 MR. VAN LUIK: Well, I think we can go back as far as
2 the NRC's own calculations back in 1991 suggested that
3 anything beyond 2 millimeters per year at the repository
4 level was a problem. I think we generally, we went up to
5 that same level in TSPA-95, and that's where we begin to see
6 that we have to take some extra measures in the engineered
7 side of the system to counteract the advective flow that
8 would happen at those flow rates.

9 So basically, my gut feeling is about 2 millimeters
10 a year, and we have to start looking seriously at a backfill
11 or at a ceramic coating to give us very long-term
12 performance. But even that, you know, is just an opinion
13 based on what we have done so far. We're not done yet.

14 DR. LANGMUIR: Let me put it this way, finding a higher
15 infiltration rate, at this point you don't think is
16 necessarily a fatal flaw?

17 MR. VAN LUIK: I don't think it's a fatal flaw. For one
18 thing, I don't think you will find a uniformly high
19 infiltration rate or flux rate at the repository level. I
20 think you might find zones where it is higher than other
21 zones, and if we can identify those zones and figure out
22 physically what's causing it, we can bypass those in the
23 emplacement process. So I don't think that in and of itself
24 is the fatal flaw for the system.

25 DR. CORDING: Pat Domenico.

1 DR. DOMENICO: Again with that flux, a couple of things.
2 First it's a hypothesis; I presume that means it's something
3 to be measured, which I gather is not an easy task to measure
4 a flux. But that being said, the past iterations you did
5 demonstrating what the change in the flux will do, I do
6 believe were based on a 10,000 year period, and now you may
7 be faced with 100,000. How does the flux enter that if you
8 have to consider this longer horizon? Was what Abe just told
9 us, does that still hold, or is it independent of the time
10 period? In other words, during the pluvial periods, would it
11 be independent of the larger flux if you had to go to a
12 longer time period according to standards?

13 DR. YUNKER: Well, TSPA-95 did include calculations
14 that went out to the peak doses, and so it went out into I
15 guess to a million years, they actually ran the calculations.
16 And I think what Abe said does apply.

17 I was going to say that I think the other piece of
18 this is the one that we suggested in terms of what's the role
19 of the Paintbrush non-welded in diversion. You know, even if
20 you get those higher infiltrations at the surface, the
21 question is what passes through is percolation flux and gets
22 to the repository level, and I think if the signal we're
23 setting from those fracture coatings is telling us that the
24 last time we had a lot of, or at least a lot of flow that
25 could precipitate that kind of material passing through was

1 100,000 years plus, then that's probably something we really
2 need to look at in terms of our conceptual model, the
3 hydrology and the past hydrology.

4 DR. DOMENICO: Even the diversion above the Paintbrush
5 as a hypothesis is very difficult if not impossible to
6 actually get some handle on.

7 DR. YOUNKER: The key observation would seem to be,
8 though, how much water are you seeing when you look both
9 through the places where there are no fractures in the ESF,
10 and when we encounter fracture zones like the Ghost Dance
11 that Rick was talking about earlier. I think looking at some
12 of those things that could be conduits if there is water in
13 transit right now, will also start to be another important
14 piece of the puzzle.

15 DR. DOMENICO: When we had our last discussion, informal
16 discussions, I seem to recall the flux was the key to
17 everything. As the flux gets lower, the site gets better in
18 terms of the doses, and I believe that still goes. But now
19 I'm hearing that as the flux gets higher, you're looking at
20 design features to compensate, because you can't change the
21 dilution and you can't change a lot of other things that are
22 natural.

23 DR. YOUNKER: Well, I think any time you look at total
24 system performance, the way you think about it clearly is to
25 look at what you expect from the various components. And if

1 there are easy ways or acceptable ways of gaining more
2 performance from one of the engineered barriers, like a
3 backfill or like the waste package, by using some kind of
4 coating, you know, you would naturally look at that and see
5 whether that makes sense I think within the context of the
6 total system. At least that would be my way of moving.

7 DR. DOMENICO: Thank you.

8 DR. YOUNKER: I did miss the last half of Leon's
9 question, which was the question of dilution, and Pat kind of
10 brought it up. And I guess you were asking about how
11 important it is and how difficult it is.

12 DR. REITER: Yes, some people I hear saying it's really
13 going to be very difficult to establish what that is, and I
14 wanted to know how important that was, both quantitatively
15 and conceptually.

16 DR. YOUNKER: Well, I think it's very important because
17 just the volumetric, you know, taking the small amount of
18 flex that we estimate will pass through the repository and
19 putting it into the larger volume that you get below the
20 water table, gives you a very important factor, you know,
21 order of magnitude, several orders of magnitude reduction,
22 and TSPA-95 shows that, and just simple calculations will
23 show you that. So I think it's very important.

24 The question of how you're going to be able to get
25 at that, there is some planned field testing that will help

1 us I think, and that I think will get high priority if we're
2 able to move the program along.

3 Our concern, like yours, is that there is certainly
4 evidence from the whole vast literature out there that looks
5 at contaminant flow and mixing and potential for how, you
6 know, some plumes just plain don't mix, and there's some good
7 reasons for that. Some of those don't seem like they would
8 apply at Yucca Mountain. So we're going to have to look at
9 other sites, look at the kinds of chemistries that you
10 observe in contaminant plumes that do not mix, and compare
11 that to what we have at Yucca Mountain. I think some of that
12 work is just going to be essential to help us build
13 confidence as to what kind of concentration reduction we will
14 get through dilution.

15 DR. REITER: So if you have a serious problem in
16 establishing that dilution potential, is that a serious
17 problem for the site?

18 DR. YUNKER: I think that the ability to rely on some
19 reduction and concentration through dilution is very
20 important. I don't know, you know, once again I would go
21 back to the balancing question of what other system component
22 can you bring in if it looks like as if you're going to have
23 trouble showing how much dilution you can count on. You
24 know, I think some will happen. I mean, it happens; we know
25 it happens. We measure it and we see it in nature, but the

1 question for this site, how to substantiate how much we can,
2 maybe that will be an uncertainty that you will have to
3 compensate a little bit, go a little bit further in your
4 engineered barrier system design than you would if you were
5 able to pin it down better.

6 DR. CORDING: Looking at these various portions of the
7 hypothesis that reduce the dose ultimately, really, the
8 unsaturated zone retardation, anything in the unsaturated
9 zone is really absent below the--you really haven't included
10 that at all. Is there, particularly when one looks at an
11 uncertainty with respect to humidity calculations and the
12 fact that some of these thermal tests won't be available for
13 several years, are there things that the unsaturated zone can
14 do for you that will help compensate for that, for example,
15 waste packages going sooner than expected?

16 And, of course, there's other things in terms of
17 delay, retardation, that it can do, whether it affects peak
18 dose or not. I was just wondering what your thought is on
19 that, and I understood there's been some comment on that
20 issue with respect to the development of this within the DOE.

21 DR. YUNKER: Right, that's very true. And what you
22 described is exactly what the current text says, as we're
23 responding to comments and as we've gone through and wrestled
24 with this. But as you correctly point out, the unsaturated
25 zone retardation doesn't buy you much in terms of bringing

1 down peak doses for the troublesome species like neptunium.

2 But from the standpoint of potential for early
3 failures, if something does go wrong, if there is a localized
4 area where you could get some water transport earlier because
5 it's colder or because it's a fracture zone we didn't spot as
6 a potential fast flow path, then if you did have early
7 failures, I think a conservatism in the strategy or a good
8 kind of sense that we are on the conservative side is that
9 you certainly would get some retardation of some of the
10 species. If you hold some of the short lived species for as
11 long as it looks like you would, for some of the ones at
12 least, you could really improve performance a lot, and it's a
13 good backup for those potential early failures.

14 DR. CORDING: Do you think that maybe then become part
15 of the strategy?

16 DR. YUNKER: It is written into the current text.

17 DR. CORDING: The other item is you state in your first
18 view graphs that the intent of this strategy is to aid in
19 supporting a near-term decision, and you're focusing on that
20 obviously. What thoughts do you have or plans are starting
21 at this point to think about how you take this strategy and
22 make it a strategy that leads you to licensing? I mean, are
23 there other portions of the system that you study further?
24 This is one strategy that gets you through, you know, you get
25 from where the water is coming in, the flow comes in to where

1 it gets out in the accessible environment, and you have kind
2 of a linear approach to that. Are there other things that
3 you would add to this? Or what do you see now that you would
4 do if you were looking at the further study post this initial
5 decision point?

6 DR. YOUNKER: Well, I think the same thing that Mr.
7 Barnes talked about, you know, we have a fair number of
8 people working on the contingency planning that would help
9 support. You know, if you use something like this to make
10 your case, the part of your safety case for this design that
11 we will put forward, then what more will you do in order to
12 either recommend the site if we were still operating under
13 the current regulations, or to take the site forward to
14 licensing, and I can't comment explicitly on, you know, how
15 much more it will take. But I think that most of us working
16 on it feel like that this is a big piece of the case you will
17 have to make.

18 There's certainly some other information. If you
19 look at Part 60 right now, you write a license application,
20 it will have to have a comprehensive presentation of our
21 understanding of the site. Some of that specifically feeds
22 to the hypotheses that we're trying to test here, but
23 certainly the whole preclosure performance spectrum has to be
24 supported, you know, from preclosure radiological safety
25 compliance, for example. So there's a lot more to add, much

1 of it I think already available.

2 DR. CORDING: And perhaps that would be described,
3 though, in terms of a strategy that would be perhaps expanded
4 from what--you describe it as a strategy expanded from what
5 you're describing for the first decision. Is that what you
6 might do?

7 DR. YOUNKER: Well, I think what you're asking me to do
8 is kind of look ahead and say what more would I have to do in
9 order to say put a license application in front of the NRC
10 that they might docket. And those kinds of questions are
11 exactly the questions that we're wrestling with. You know,
12 if you get to this viability assessment with a good strong
13 case and a design of the level of maturity that we're going
14 to produce, then what else will you have to do.

15 DR. CORDING: I think it's partly, looking at that now
16 is I think relevant in that it helps you define what you're
17 really accomplishing with the viability decision and what
18 more you really are going to be doing. It's not that
19 everything ends at the viability decision. You're going to
20 be doing more. How do you see that fitting in? And perhaps
21 you can't describe it in detail at this point. Your focus
22 has to be on first things first here, but I think that that
23 seems to be part of providing a perspective that allows
24 people to buy into various parts of the strategy.

25 DR. YOUNKER: I couldn't agree more.

1 DR. CORDING: Thank you. Don Langmuir? One or two more
2 questions.

3 DR. LANGMUIR: Looking at your overhead Number 10, which
4 is the dilution one, I gather, remembering this now that we
5 didn't have dilution in the saturated zone as a factor in
6 TSPA-95, it wasn't brought in yet and it's now being brought
7 in, as we all think it should be, as a consideration in
8 future TSPAs?

9 DR. YOUNKER: It is there in TSPA-95.

10 DR. LANGMUIR: It was in 95 also?

11 DR. YOUNKER: Yes.

12 DR. LANGMUIR: Excuse me. Okay, the back of the
13 envelope, which I'm not a hydrologist, so Pat could do but I
14 can't do, but I'd like to have a feel for it from you, an
15 obvious first factor in any concerns about getting to the
16 accessible environment with radionuclides is your assumed
17 dilution factor. When you come from the unsat zone down and
18 you hit the saturated zone, you get a saturated thickness, do
19 you come up with figures like 1 to 1000, 1 to 10,000 is the
20 probable dilution you'd expect under the repository, assuming
21 total mixing, or if you assume you're going a long way
22 ultimately mixing in the whole sat zone?

23 DR. YOUNKER: I think TSPA-95, and Abe, you may have to
24 correct me on this, but I think you get something like two or
25 three orders of magnitude for dilution in the saturated zone.

1 I think it was two orders of magnitude. And I think in the
2 strategy, the very primitive calculations that we've done
3 trying to kind of get orders of magnitude probably takes it a
4 little bit higher than that, thinking that that is a fairly
5 conservative number, but open to all the questions that Leon
6 Reiter brought up.

7 DR. LANGMUIR: This obviously ties directly into Leon's
8 infiltration rate range of option.

9 DR. YOUNKER: That's exactly right.

10 DR. LANGMUIR: Is 1 to 100, is that the least dilution
11 for the max infiltration rates?

12 I guess I would be interested in what the least
13 would be and what your best assumed reasonable value would
14 be, too.

15 MR. VAN LUIK: I would love for someone from one of the
16 disciplines to answer this one. This is Abe Van Luik, DOE,
17 again.

18 It's my opinion that the upper bound--no, the lower
19 bound on dilution came out about two orders of magnitude, and
20 then it went according to--you know, we did this
21 probabilistically and put in ranges of data, and I think it
22 went as far as maybe four orders of magnitude. But I would
23 love for someone here that was involved in it--

24 DR. YOUNKER: Dave Sevugian is back there.

25 MR. VAN LUIK: Oh, Dave Sevugian maybe can answer this

1 better than I can.

2 MR. SEVUGIAN: Dave Sevugian, Performance Assessment.
3 You're testing my memory here, but I think we had a question
4 when we reviewed the document from Sandia, for the absolute
5 worst dilution, if you assume glacial conditions, 10
6 millimeters a year in the unsaturated zone and a very low
7 flux in the saturated zone, was a factor of 10. The expected
8 value was in the range of, depending on the unsaturated zone
9 flux, it was somewhere between 40 to 800, and that was at the
10 5 kilometer boundary. That's the best I can remember the
11 number right now.

12 DR. CORDING: Okay, thank you. One last question from
13 John Cantlon.

14 DR. CANTLON: Jean, obviously as you've moved ahead, the
15 role of the engineered barrier system has gained in
16 prominence, and if we listened to Wes Barnes' presentation
17 this morning, it now essentially is the point of departure in
18 his relationship with Congress.

19 That also is going to raise a problem in the EIS
20 determination where alternative technologies are really going
21 to be pressed on you. And I guess it surprises me that the
22 possible role of fillers in retardation in the mobilization
23 question, you have no data on and don't even seem to be
24 thinking about it. Could you expand why that is such a gap
25 in your thinking?

1 DR. YOUNKER: Abe, do you want to comment on that? You
2 looked like you wanted to say something.

3 MR. VAN LUIK: I was hoping that someone was here from
4 Systems Engineering, because we just sat through a
5 presentation on their study, and they are, in fact,
6 considering fillers as one option for meeting some of the
7 performance goals for the waste package. Beyond that, I
8 don't know very much. But if there's anyone here from that
9 study, it would probably be helpful to stand up and say
10 something.

11 DR. YOUNKER: It looks like they're working on the
12 study.

13 MR. VAN LUIK: Well, that's exactly what they're doing
14 today. The presentation we got was that they were looking at
15 a couple of alternate filler materials. But, you know, this
16 is all contingency systems engineering type work.

17 DR. CORDING: All right, thank you very much, and thank
18 you, Jean. We've moved back on schedule here. And we have
19 as our next presentation, an update on site investigations.
20 We're interested in hearing about things that are being
21 learned, and some of which are of course in real time as
22 progress continues with the ESF work. So Dennis Williams
23 will make this presentation. He's Deputy Assistant Manager,
24 Scientific Program. Dennis?

25 MR. WILLIAMS: Good morning. One of the things I'll do

1 in this presentation on the update of site investigations,
2 I'll really slide over into Bill Boyle's agenda items that
3 are on your official agenda in the, let's see what was it, in
4 the area of what we've learned recently in the testing and
5 into that thing that's identified as a "plumbing system."

6 With regard to site investigations update, I have a
7 little note on here on surface-based, I put a couple items in
8 there parenthetically. After listening to what our project
9 manager had to say today, I might be falling into a little
10 bit of the same trap that he is, thinking because our
11 surface-based program isn't as extensive right now as it has
12 been in the past, that really nothing is going on out there.

13 Well, that's again a bit of a misconception.

14 We do have the C-hole complex that's actually
15 pumping water out of the saturated zone, looking at things
16 like the dilution, and we're also getting ready to do some
17 pump tests, single hole pump tests in Wt-10 way down on the
18 south end of the site, and up at G-2 up in the large hydrolic
19 gradient area. In addition to that, we've got a lot of
20 surface mapping going on. So we've got quite a few things
21 that are going on in the surface-based program. Again, not
22 as much as we would have liked, not as much as we had last
23 year, not to the satisfaction of a lot of the staff at DOE or
24 contractors, but it is there.

25 I'll make a couple comments with regard to the

1 relationship of the waste isolation strategy. This is
2 something that myself and Susan and Jean Younker have been
3 working on. Last year about this time at Beattie, we talked
4 about the waste isolation strategy. We had dozens and dozens
5 of overheads that we worried throughout there, showing
6 diagrams of tests. And I don't want to really get into a lot
7 of the testing today. This presentation is oriented more
8 towards the outcomes, the results.

9 The first part of it I'd like to talk about is a
10 little bit of the geology, because we've got some surface-
11 based predictions that we've made and we're comparing those
12 to the underground observations, a little bit of a follow-on
13 to what I talked about in July at Salt Lake City at the Board
14 meeting, just hit the Drill Hole Wash Fault, the repository
15 horizon, a couple items on rock quality.

16 Then we'll get into the hydrology part, which gets
17 into some water age dates. I know there's a lot of interest
18 in that. Fracture-fill age dates, a little bit on the
19 pneumatic instrumentation and what we're seeing out of that,
20 and then some hydrologic observations in the ESF.

21 This next visual, we pulled a few things out of
22 Jean's presentation with regard to the hypotheses on waste
23 isolation. Again, those that are really relevant to the
24 scientific programs are the low seepage, low mobilization
25 rates of radionuclides, and the dilution.

1 One of the things that came up this morning was a
2 matter of management confidence versus staff confidence.
3 Well, I'm a manager in DOE, but I probably have more of the
4 staff perspective from a confidence standpoint, and I'd like
5 to share with you a little bit why I do have some of that
6 confidence.

7 When I see some things like this as far as
8 hypotheses for waste isolation, I kind of build me a little
9 idealized setting of what would be the idealized picture of
10 an area of rock, dirt, whatever, to give you confidence that
11 you had something that would work.

12 In this case, I looked back at some of the things
13 I've dealt with as far as hazardous waste and sanitary
14 landfills, and basically you're trying to get water out of it
15 from evapotranspiration. You're trying to get water to flow
16 off of a surface. You're trying to develop some barriers in
17 here to downward flow, and ultimately, you're down at a water
18 table where you have some dilution.

19 On the dilution, maybe I wandered behind Roy
20 Williams at the University of Idaho in the early Seventies
21 too much chanting, dilution is the solution to pollution, but
22 maybe that's where a little bit of my bias comes from.

23 Anyway, in this type of a scenario, nothing much is
24 going on in here. That's where you would engineer your
25 facility or take advantage of your facility.

1 The high level relationship between waste isolation
2 strategy and hydrology and geology, obviously the hydrologic
3 processes are key to waste isolation in our natural barrier.

4 These processes of course are in large part dependent on the
5 stratigraphy and the structure of the geology. The geology
6 provides our framework and of course our site investigations,
7 data and analyses tell us about this framework and give us
8 that confidence that we're talking about.

9 Predictability; I had larger diagrams like this in
10 the July presentation up in Salt Lake City, but we make
11 predictions on the stratigraphy, on the structure, what we're
12 going to get in the ESF. These are just a couple of them
13 that I pulled out. Basically, the Bow Ridge Fault, we
14 predicted at 1+69--or, I'm sorry, I'm going to get trapped
15 into my stationing problem that I had trouble with before--
16 169 meters. And where did we observe it? 199 meters. Where
17 did we hit the Pre-Pah Canyon? That's basically at the top
18 of the Topopah Springs. 1028 meters was the predicted, and
19 we hit it at 1020 meters. So we have that kind of a system
20 going with regard to prediction, and of course that gives us
21 confidence.

22 Drill Hole Wash, what did we predict? Drill Hole
23 Wash Fault, we predicted it at 2100 meters. What have we
24 observed? A couple of faults down there, much smaller than
25 we had anticipated as far as width, but basically running in

1 the ESF from 1900 to 1940 meters. This isn't the width of
2 the zone. The zone is very thin, but it's coming out of the
3 left wall at 1900 meters and going into the right wall at
4 1940 meters. We'll be able to see that underground Friday
5 whenever we go on that tour. Vertical offset on that of
6 about 4 to 6 meters. It's got dominant strike-slip movement
7 on it.

8 The other fault possibly associated with that zone
9 at 2265 meters, it's a north trending fault, about two meters
10 of offset. I do believe in your package, it says 22 meters.

11 That should be 2.2 meters. We did have a couple of typos in
12 that package.

13 This shows you a little bit of what we had in hand
14 when we made the prediction as far as the explorations out
15 there. This was the surface trace of the fault. As you can
16 see, most of the area is covered with alluvium. We were
17 coming off of some of the features up here that were in the
18 bedrock, and a few shallow drill holes that were in the
19 vicinity.

20 You do have an as-built section more or less just
21 for your records to show where we are hitting these things as
22 we move along with the excavation of the tunnel. This
23 particular section runs from 1400 meters over to 2800 meters.

24 These are the locations of the faults as we hit them. You
25 do have a decoder ring in there as far as what these

1 different symbols mean as far as the lithology, but basically
2 we're talking about the Tiva Canyon up here, the bedded
3 tufts, we get into the Topopah, we have the upper non-
4 lithophysal, then we go into the upper lithophysal unit which
5 we will see a great deal of when we go out there Friday,
6 because for about a kilometer here, you say in that unit. It
7 all looks the same. It's interesting to geologists, but not
8 very many other people.

9 We will get down at the middle non-lithophysal. It
10 was predicted out here at about 2700 meters. This is the as-
11 built showing where it was hit, but we do have in your
12 package, I don't have an overhead of it, but we do have--oh,
13 I do, here it is--preconstruction section. We predicted it
14 out here at 2700 meters on that particular contact. This is
15 how we depicted the Drill Hole Wash Fault going into the
16 excavation phase. Of course you saw how it turned out.

17 On penetrating the repository horizon, we have a
18 plan view along the alignment of the ramp, moving down here,
19 again, predicted at 2700 meters. We hit it at 2720. TBM is
20 at 3674 right now, and of course moving south.

21 You do have a little cartoon in your package that
22 shows some of the distinguishing lithologic features of this
23 particular contact that we derived from boreholes and from an
24 exposure at Fran Ridge that allowed us to make the prediction
25 on where this particular contact would be located. This is a

1 cartoon of what the wall looks like at that location near
2 2720 meters. We will see that. It's still well exposed in
3 the tunnel whenever we go in there on Friday.

4 Some of the key things of course are lithophysae
5 content reduces; that's one of the reasons why the repository
6 horizon was picked, was because of the low content
7 lithophysae. And one of the things that's quite noticeable
8 is we increase larger high angle fractures in that repository
9 horizon rock mass.

10 I couldn't make a presentation on the geology of a
11 tunnel without talking about rock mass quality rating
12 systems. Rick always loves me when I do this. This is all
13 the data points that we've gathered since the beginning of
14 the tunnel right here at 3600 meters. Basically, that Q
15 system setting over here, it's a Norwegian Geotechnical
16 Institute system of factors of RQD and joint percentages
17 based on empirical data from a variety of tunnels that have
18 been excavated around the world. We keep track of that on
19 five meter intervals.

20 We have our ground class ratings over here. Again,
21 as I mentioned in the Salt Lake presentation in July, we had
22 basically predicted largely in the fair and poor category on
23 most of the rock conditions in the ESF. We can see the way
24 the numbers are coming out, that we're probably in the good
25 to fair. We're probably better on that than we've predicted.

1 If you're going to miss a prediction somewhere, it's
2 probably better to go this way than the other way. So,
3 again, building confidence, we can build the tunnel out
4 there.

5 The hydrology, we talk about the water age dates,
6 fracture fill dates, gas phase, the pneumatics and the
7 hydrologic observations in the ESF.

8 The diagram that we tend to go back to is based on
9 Montizar and Wilson, 1984, I believe it was in the SCP. It's
10 the conceptual model, cartoon, whatever you want to call it,
11 but it basically shows a west-east cross-section of the
12 mountain. It shows the major geologic units, here depicted
13 as thermal mechanical units, the Tiva, the Paintbrush, the
14 Topopah, Calico Hills, Bullfrog, et cetera, getting down, and
15 then the water table basically broken by the major faults as
16 we know them in the area, this depicting the Ghost Dance and
17 the Bow Ridge.

18 What are we getting for dates scattered throughout
19 here? The key is over here on the side, back to the A, B, C,
20 Ds, et cetera. Basically, up at the Tiva, moderate water.
21 When we move down into the Topopah Springs, we've got dates
22 of the 200,000 year range for unsaturated matrix. Down here
23 at the perched water, and the perched water sets in here not
24 really at a definite stratigraphic horizon, but very near the
25 lower part of the Topopah and the upper part of the Calico

1 Hills. So varying from north to south, you actually move
2 across the stratigraphy a little bit.

3 We don't know for sure what's causing that, but
4 hopefully the data that's coming out of pneumatic, the age
5 dating, everything starting to synthesize together will give
6 us a better understanding of that.

7 Down here at D when we're lower in the Calico
8 Hills, we have again 200,00 year old water; down in the
9 saturated zone, 15,000 year old water by one measurement, and
10 less than 50,000 by the Chlorine 36. There's been a bit of
11 an anomaly on modern water down in the Calico. Of course,
12 some of you recall that's way over on this side. That was in
13 UZ-16. Tritium, I don't think we still know for sure exactly
14 what's going on with that particular situation.

15 Maybe a few thoughts on the "plumbing system." I
16 think the upper part of this is getting well defined. I
17 mean, we've got 91 neutron holes out there that go down into
18 the near surface for infiltration. We know a lot about
19 evapotranspiration. We know a lot about run-off. We know
20 those things.

21 Between the intercepts that we've had in the PTn
22 from drilling, and we've also got Alcove 3 at the top
23 contact, Alcove 4 at the bottom contact in the tunnel, we're
24 having a great--we've got a lot more understanding of what's
25 going on with regard to that.

1 We also have those pneumatics, the pneumatic
2 instrumentation packages that go across this boundary. We
3 measure the pneumatic response to barometric pressure changes
4 above, internal and below. We'll see a bit of that data a
5 little bit later on. But we're starting to understand a lot
6 more about this part of the system, geohydrologic system or
7 "plumbing system," whichever you prefer.

8 When there was a mention made of humidity, one of
9 the things that we'll see when we go out there on Friday and
10 go into Alcove 3 with the ventilation shut off, it's a nice
11 humid spot. So it's very interesting. And we ventilated it
12 for a while, and then we saw what we were doing as far as
13 drying out, put a bulk head on it, shut off the ventilation,
14 and the water comes back.

15 A bit of a heretic with regard to Rick, but it
16 would be interesting if we shut down the TBM for a period of
17 time, week, two weeks, three weeks, shut off the ventilation,
18 what happens in the ESF, what does it do. I think that could
19 be a test, a good test. Anyway, I'll get away from that
20 before I get deep.

21 Fracture-filling materials. We've got a typo here.
22 We couldn't figure out whether we had 50 or 80 analyses, but
23 it was 50 samples and 80 analyses of U-series. So that's
24 what my climate folks tell us. We were scrambling around
25 yesterday trying to figure that one out, and all of our

1 samplers were in the tunnel. In fact, you never saw such a
2 cast of scientists in all your life as we had in the tunnel
3 yesterday capturing fracture-filling samples.

4 The whole package, apparent ages 100 to a million
5 years, or 100,000 to a million years. We have a couple of
6 real nice ESF clusters; these which were collected up in the
7 summer of '95, and there's a lot of data points in here,
8 there's ten samples that were in this vicinity. This is
9 after you get below the PTn in the tunnel, so it's the actual
10 tunnel data. And then we have another set of samples, 25
11 samples, I believe, in this area, a cluster that they took
12 in--let's see, that's further down the tunnel--late last
13 calendar year, and the clustering of course are in the dates
14 over here, 240 to 310,000 years largely in this area.

15 Repository level; they were collecting samples
16 yesterday. These samples here are from core samples going
17 through the repository horizon, quite a scatter as far as
18 scatter of locations from north to south, but we'll be having
19 some real concentrated sampling in the ESF as we move south.

20 Pneumatics; currently seven bore holes. We've
21 added SD-12, I think, since the last time we visited with
22 you. Again, for review, we've got pneumatic instrumentation
23 in UZ-4, UZ-5, NRG-7a, NRG-6. We have temporary
24 instrumentation that we put in and out of NRG-5, permanent
25 instruments in 12, and UZ-7a, which is right on the Ghost

1 Dance Fault, we have a permanent instrumentation package in
2 that now. Likewise, Nye County has instrumentation packages
3 in ONC-1 and--no, their package is in NRG-4.

4 Part of the pneumatics, part of the confidence on
5 that is to be able to predict a response, predict what it's
6 going to look like before the TBM goes by. You've got a
7 couple of simulations here, one I'll show as a viewgraph. I
8 think you've got an extra one in your package. Basically, we
9 have what the barometric pressure shows from atmospheric. We
10 have a simulated that comes out of Lawrence Berkeley
11 Laboratories, UZ modelling, and then we have the measured
12 response to that barometric pressure, and I think you can see
13 that the simulated and the measured is comparing quite
14 nicely.

15 We can do more and more of these things in a
16 variety of areas, not only with pneumatics, but predicting
17 flux, if we ever get to that point, predicting stratigraphy,
18 predicting structure, predicting rock quality. These types
19 of things give us confidence on whether or not this thing
20 will work as a site.

21 This one is hot off the press. It's basically a
22 tracing of a dataset that came out of SD-12, the
23 instrumentation package that was very recently put in here,
24 and that's why it's going to be a little difficult for an
25 understanding. It's the time period of November 27th to

1 December 4th of this last calendar year.

2 The capping up here shows you where we actually had
3 the grout set up around the instruments lower down in the
4 bore hole. Basically an open bore hole setting here putting
5 instruments in, putting the grout in to isolate those
6 instruments, and then actually seeing when the grout is
7 setting up, such that it's sealing different isolated areas
8 of the bore hole off.

9 What are we looking at? Basically, it's an upside
10 down as far as the stratigraphy goes--I'll just turn it over
11 for a minute. Tiva, PTn, the vitric at the bottom of the PTn
12 which fits into the thermal mechanical classification system
13 as PTn, however, lithostratigraphically, it's the top of the
14 Topopah, and then these particular traces further down in the
15 Topopah. You have the depths on the chart there at the
16 bottom.

17 We see a response here that's very similar to the
18 other responses that we see below the PTn, the fact that the
19 responses, the barometric response is subdued and delayed.
20 You see the delay setting here between peaking--or the valley
21 is probably the best here, the Tiva Columnar really
22 representing the barometric, the atmospheric barometric
23 pressure.

24 You see the same thing in the PTn, and then the
25 vitric cap rock, but then when you get lower in the Topopah,

1 you see the shift, very similar to the response that we see
2 in the other pneumatics, with the exception of UZ-7a, which
3 is in the Ghost Dance Fault, and it looks like an open hole
4 all the way to the bottom.

5 Hydrologic observations in the ESF; we had some
6 predicted things with regard to saturations. This is
7 probably pretty easy to make a prediction off of these
8 because we did have core out of the area, so you could be
9 pretty comfortable. But the rock down around the ESF, around
10 90 per cent saturation. Above the Topopah Springs welded,
11 when you get up in the Tiva, 60 per cent saturations. Of
12 course, when you get in the PTn, the bedded units, you've got
13 high saturations and low saturations, and we'll see some of
14 that in the tunnel when we go out there on Friday.

15 No perched water in two miles, 3700 meters, 3.7
16 kilometers, no perched water. We didn't predict any. You've
17 probably been told numerous times that perched water was a
18 contingency test if we ran into it, but nobody felt that we
19 would hit perched water in the ESF, and no dripping
20 fractures.

21 What are some very preliminary conclusions with
22 regard to the water-age dating? Paintbrush probably isn't
23 precluding the downward flow. Pneumatics have shown the same
24 thing. Water flow in the rock matrix is very slow, 0.1 to .1
25 millimeter per year calculated. That sets lower than that

1 bounding value that Jean uses.

2 Faults and fractures may act as zones that allow
3 water to flow to lower portions within the geologic section.

4 This is an interesting one because we'll go out there and
5 we'll stop at a fault when we're out there in the ESF, the
6 one at 2265 meters. We'll look at that fault zone, it's had
7 a little bit of tension on it so you have a block that looks
8 like it's rotated a little bit. So it's something that you
9 would say, hey, this should be open. There should be some
10 fracture fillings in there that would indicate water moving
11 down that thing. It doesn't have any. So what's going on in
12 this particular structure that appears to be open at the ESF
13 level?

14 Okay, you go on down on the Ghost Dance Fault, of
15 course we've got pneumatic instrumentation, ten packages of
16 pneumatic instrumentation in that particular bore hole going
17 down below the repository horizon and it appears to be open
18 from top to bottom. So we need to sort that out to
19 understand what's happening with regard to faults and
20 fractures.

21 Perched water; the perched water at that Topopah
22 Springs/Calico Hills contact basically from west to east,
23 what does it represent? Maybe it represents lateral flow
24 coming in from the Solitario Canyon side. It's a hypothesis
25 that we have to test.

1 And, of course, looking at the saturated zone,
2 where is the water coming from, how is it getting there, what
3 are the aquifer characteristics and how does that relate then
4 to the dilution that we're considering. And things like
5 we're doing right now, pumping on the C-wells, some of our
6 single hole pump tests and work up at G-2 may provide the
7 answer to that question.

8 I put these two together, a little bit for your
9 benefit as kind of a summation, but with the age dates of the
10 water at the repository horizon, 200,000 years, fractures
11 over here in the 200 to 400,000 year range. That part of it
12 may be starting to fit together.

13 And what have we learned? The ability to predict
14 from surface-based tests, probably getting pretty good on the
15 stratigraphy, geologic contacts, rock quality, pneumatic
16 response, those items.

17 What have we found? The surface-based tests can't
18 do it alone. We've had a lot of back and forth about that
19 over the five years that I've been here. Many of us have
20 felt, and I think this is confirming that we need to go
21 underground to verify those conditions to give us that good
22 lateral look at the repository horizon. But both those
23 surface and subsurface geologic and hydrologic studies
24 enhance our understanding of the site.

25 What's the last thing? The confidence. Great

1 news; I feel that we've got great news here because, number
2 one, we can build a hole out there and it will stay open. I
3 had my doubts when we started, but that's what we've got now,
4 and in my mind, it looks real good. Available space. You
5 remember some of the early studies about the geometry of the
6 pork chop, it basically cut off on the north end because of
7 the Drill Hole Wash Fault. The Drill Hole Wash Fault may be
8 pretty close to not being significant.

9 Can we move further north? I think that that's a
10 real possibility. And I put it as the beginnings of an
11 understanding of how the hydrology works in the unsaturated
12 zone at the repository horizon.

13 I say the beginnings of an understanding because
14 we're starting to get some data. We're starting to get quite
15 a bit of data that looks good. But if you go to the back of
16 the book and get the answer, the answer may be that it looks
17 pretty good, but what are the processes that allow you to
18 draw that conclusion?

19 One of the things that we hammer on a little bit in
20 our discussions around the AMSP staff is, hey, this is
21 probably a pretty good site. We all feel it's a pretty good
22 site. But can we defend it in the regulatory arena? And
23 most of the time it comes down to what we need is the parts
24 for the defense.

25 We feel comfortable, we feel confident that this

1 thing can work based on our experience with other things,
2 hazardous waste sites, dams, civil projects, those kinds of
3 features. Will it work? Yeah. Can we defend it? We
4 probably can eventually. We probably can't mount a
5 regulatory defense today based on the information we've got.

6 Thank you.

7 DR. CORDING: Thank you, Dennis.

8 One of the observations that I was able to make
9 just walking through the tunnel, at the point where you'd
10 already gotten down into the repository level and turned the
11 corner, but it was interesting to see the really high quality
12 in the lower lithophysal zone. There's some very large
13 lithophysal vugs or voids there that are in the order of size
14 of baseballs to basketballs. And that's the sort of thing
15 that can break up a core, but it's not going to do much to a
16 tunnel.

17 MR. WILLIAMS: Right.

18 DR. CORDING: And there's actually less fractures in
19 some of those sections; they're a little bit softer materials
20 and less able to propagate fractures, natural fractures.

21 So I was wondering if there's any thought there
22 about look at that as that zone itself has any potential for
23 consideration as part of a repository, or do you really feel
24 that we should be down in the proposed lower zones below
25 that, the Topopah Spring?

1 MR. WILLIAMS: That's really not my bailiwick. But I
2 guess what I would encourage the repository designers to do
3 is go back and look at their original criteria for making a
4 pick on a horizon, and maybe look at what they're getting now
5 from direct observation of the lower upper lithophysal unit,
6 and of course the upper middle--or the middle non-lithophysal
7 unit.

8 But when you look at that rock out there, it's real
9 interesting because when you start looking at it in detail,
10 and I'm referring to the lower portion of that rock, the
11 lower portion of the upper lithophysal, it's almost like
12 there's a lot of little fractures or incipient fractures in
13 that rock mass. And we're going back and look at our RQD
14 measurements, I mean, when we drilled the holes. What were
15 we looking at that gave us those lower values that ended up
16 with lower Q values.

17 And I think you can understand that when you're
18 drilling that hole, that four inch diameter hole, especially
19 air drilling conditions, you're going to rattle that core
20 around a lot, and if there's a potential for it to come
21 apart, it will, and that's reflected in the RQD.

22 DR. CORDING: We have a very short period of time, but I
23 certainly want questions from the Board. Clarence?

24 DR. ALLEN: Just a couple of questions. You mentioned
25 the fracture fillings in the repository horizon. To what

1 degree do we see literalization of the fault zones as
2 distinct from the fractures, and have any of those been
3 dated, and to what degree is that a ubiquitous feature in the
4 fault? And, secondly, you mentioned what is possibly the
5 Drill Hole Wash Fault. You had evidence of strikes of
6 displacement. I assume that has to be from slick and slides
7 I guess, and if so, to what degree are these ubiquitous among
8 the various faults you've seen?

9 MR. WILLIAMS: I could probably give you some anecdotal
10 remarks on what I've just observed going in and out of the
11 tunnel, but I'll leave the details up to some of the folks
12 that we've got out in the audience that have studied it a
13 little bit more.

14 But with regard to the first one, do you see any
15 fracture fillings on the faults, I can't recall--let's see,
16 we looked at Drill Hole Wash yesterday. I don't think I
17 remember seeing a lot of fracture fillings there. And,
18 likewise, on the Bow Ridge, when we went through that--you
19 know what the Bow Ridge looks like up at Trench 14. It
20 doesn't look anything like that at the bottom. As far as
21 actual fracture fillings coming out of the fault down there,
22 I'd have to defer to our folks that are doing the direct
23 sampling of it.

24 On the faults, the movements, you can see slick and
25 slides on some of the surfaces. Maybe Tim could give us--he

1 spent some time with the geologist on those features
2 yesterday, if he'd like to--Tim Sullivan, DOE team leader for
3 the geology team.

4 MR. SULLIVAN: Tim Sullivan. Good morning, Clarence.

5 First off, slick and slides are not ubiquitous in
6 the ESF. In fact, they're very uncommon. The mappers showed
7 us yesterday at least two locations where near horizontal
8 slick and slides were preserved. One was on the Drill Hole
9 Wash Fault, what we're calling the Drill Hole Wash Fault at
10 about Station 1940 that Dennis pointed out earlier. And
11 again on a fault further along in the tunnel right near the
12 mapping entry that you'll probably have an opportunity to see
13 tomorrow.

14 The normal faults which predominate in the tunnel,
15 to my knowledge do not exhibit slick and slides. We wouldn't
16 expect them to be preserved in the lithophysal units I don't
17 think anyway.

18 If there's anyone else that would like to comment
19 further on that, they're welcome. But, again, slick and
20 slides are pretty unusual in the tunnel.

21 The Bow Ridge Fault zone is not--you know, there
22 are fracture fillings in the tunnel with thicknesses of
23 carbonate that range from a few millimeters to as much as a
24 quarter of an inch or more. That is not typical of the Bow
25 Ridge Fault, at least the exposure that remains, although it

1 has been heavily sampled, and maybe John would like to
2 comment on that briefly, John Stuckless.

3 MR. STUCKLESS: John Stuckless, USGS.

4 The Bow Ridge Fault has a small amount of calcite
5 on it. It is only on the footwall, which is an interesting
6 observation, if you wanted to make that a saturated feature,
7 it would have to be on both the footwall and hanging wall.
8 But there isn't very much there.

9 The thing we're looking for most, Clarence, is when
10 we get over to something like the Ghost Dance Fault, which is
11 a large fault zone and very well brecciated, to see if we get
12 a difference in dates of the material there.

13 DR. CORDING: Thank you. Brief comment from Don.

14 DR. LANGMUIR: Yes, not a comment, but a question,
15 hopefully brief.

16 One of the big controversies that was raised by the
17 State of Nevada, and a concern which I think the NRC picked
18 up on last year or year before, was the issue of pneumatic
19 effects in the tunnel, and the possibility of radionuclide
20 releases which would be compromised, the studies would be
21 compromised by the ESF.

22 This is the first time I've seen testing, pneumatic
23 testing results in your presentation, Dennis, and I was very
24 intrigued to see that the modelling of the pneumatic testing
25 measurements were excellent by and large. You could predict

1 the pneumatic effects very well.

2 I guess I'd be curious what that's telling us, what
3 the relevance of that is to potential releases of
4 radionuclides. We've measured pneumatic effects, we can
5 predict them. How does that tie into concern, if we still
6 have them, about potential releases of radionuclides
7 pneumatically?

8 MR. WILLIAMS: I'll go to Jean and her crew on that one.

9 MR. VAN LUIK: Abe Van Luik, DOE.

10 Under the what we expect to be the new regulatory
11 scheme, we're not looking, we're not concerned with Carbon 14
12 because it will not be a dose contributor. We've done
13 calculations very pessimistically and shown that doses like
14 .12 millirem per year can be expected for a poor individual
15 living on top of Yucca Mountain from Carbon 14. We always
16 felt that was a non-issue, so if the new regulations are dose
17 based, that goes away as an issue and the pneumatic pathway
18 becomes an issue of very little importance, except that it
19 does give us insight into the connectivity of the different
20 units in the mountain. And I think from a
21 geological/hydrological perspective, this is very important
22 information now. From a release dose perspective, it becomes
23 a moot point.

24 DR. LANGMUIR: Okay. And none of the other gaseous
25 radionuclides are an issue, I take it. That's the inference.

1 The iodine, for example, is not an issue.

2 MR. VAN LUIK: We expect that some of the iodine may be
3 released as a gas from the waste form itself, and then will
4 be transported once it hits the host rock in the aqueous
5 phase. That is our expectation and our conceptualization of
6 that particular mechanism.

7 DR. CORDING: We need to move on. One more question
8 from Jared Cohon.

9 DR. COHON: Your Overhead 21, when you report your
10 conclusions from water-age dating, the last one says
11 saturated zone water originates primarily from the north. It
12 says saturated zone water originates primarily from the
13 north; that's one of your conclusions.

14 MR. WILLIAMS: Okay.

15 DR. COHON: Did you show us data that substantiates
16 that, or is that other data?

17 MR. WILLIAMS: No.

18 DR. COHON: Okay. Are you likely to learn, or are we
19 likely to learn any more from the ESF about the saturated
20 zone than this kind of thing?

21 MR. WILLIAMS: From the ESF on the saturated zone? I
22 don't think so. We're a long ways above the saturated zone.

23 DR. COHON: I know that. Are there other tests planned
24 on the saturated zone?

25 MR. WILLIAMS: We've got the C-well complex that's

1 anticipated to be quite a long-term pumping and tracer
2 testing complex, and then we have a variety, or quite a large
3 number of older holes around the mountain area, what we call
4 the WT holes, the water table holes, that were drilled back
5 in the Eighties that we're going back in and cleaning those
6 holes out and doing single hole pump tests in them to try to
7 get some aquifer characteristics.

8 Single hole pump tests of course are a pain.
9 Whether or not they give you real good data or not, we've had
10 a lot of discussion about that. But those particular holes
11 are available and we're giving it a shot.

12 Likewise, up on the north end, G-2 goes down
13 through what we thought to be the large hydrolic gradient,
14 and we're evaluating that a little bit more. If there is a
15 large hydrolic gradient, that is saturated zone up there at
16 the north end, and we would understand more about that. But
17 right now, that's about what's on the books.

18 DR. CORDING: Okay, thank you very much.

19 DR. DOMENICO: Ed, just one quick one.

20 DR. CORDING: Okay, Pat.

21 DR. DOMENICO: There's a statement Topopah Spring water
22 flow in the rock matrix is very slow, .01 to .1 millimeters
23 per year calculated. How was that calculated?

24 MR. WILLIAMS: One of the hydrology guys on that. Russ
25 Patterson, would you care to--

1 MR. PATTERSON: Actually, I'm going to defer that to Bo.

2 DR. CORDING: Bo Bodvarsson.

3 MR. BODVARSSON: Bo Bodvarsson, Lawrence Berkeley Lab.

4 The way we have done that is we have moisture
5 tension and saturation data from about 15 wells all
6 throughout the mountain. And the saturation shows below full
7 saturations in the Topopah Springs and in the repository
8 region. We then used our three dimensional EOC model and we
9 match all of these wells simultaneously, and what that gives
10 us is an estimate of our flux through the matrix that is
11 required to give us these saturations, given the rock
12 properties that we measure from cores.

13 And the actual indication based on these data are
14 that the flux through the repository horizon is less than .1
15 millimeter per year. That does not preclude us, you know,
16 some fast flow-through faults or major fractures.

17 DR. CORDING: Thank you very much. We're cutting into
18 the time of Bill Boyle here, and we know that what we're
19 hearing are some very interesting information, but we'll
20 continue now with Bill Boyle's presentation. And his is an
21 update on site in situ thermal tests.

22 Bill is the geoengineering team leader on the
23 project, and will be discussing some very important aspects I
24 think of how soon they're getting started on thermal testing
25 and what they're going to be able to do, this being one of

1 the major issues with respect to waste isolation.

2 I think we're quite interested in this
3 presentation. Thank you.

4 MR. BOYLE: Thank you for all still being here. I know
5 that we're close to lunch. I'll try and go quickly.

6 One thing I wanted to do was weave a thread through
7 the talk about the tests are important. Ed just said it.
8 But I think a conversation that happened earlier today as a
9 result of questions for Jean's talk, the conversation between
10 Dr. Langmuir and Dr. Clark; one eminent scientist believes
11 that the relative humidity is going to be close to 100 per
12 cent, another says no, it will be somewhat less.

13 We can provide some answers about that. I'm not
14 saying it gets back to Rick's a design versus the design.
15 These tests will help us provide answers as to what is the
16 true state of affairs.

17 This is my interpretation of how the thermal
18 testing might relate to the waste isolation strategy. These
19 words are mine. I'm told that some people like to contrast
20 between flow and flux. I didn't go to that detail. And
21 people might disagree whether the thermal testing results
22 relate to Hypothesis 1 or not. But whether it relates to
23 three of them, four of them, I think it's quite clear that
24 thermal testing is an important issue.

25 The one hypothesis that's not on there is

1 Hypothesis 5, which is dilution. And, myself, I don't see
2 how the thermal testing will provide us much information on
3 that.

4 Now, what I wanted to do here was give an idea of
5 where are we at in terms of thermal test data. Dr. Cording
6 had mentioned earlier today we're right where we want to be.

7 The machine is by the thermal test alcove, we're just
8 getting ready to go ahead and get a lot of data.

9 On the other hand, we're in the position of not
10 being where we want to be, and I'll contrast our position to
11 that of dams around the world. I read recently in Civil
12 Engineering Magazine I think there's over 20,000 dams around
13 the world, and when some organization goes to design and
14 construct a dam now, they can rely upon all that large data
15 base of information as to what works, what doesn't work, why
16 does it work, how long does it work. We, on the other hand,
17 don't have 20,000 repositories to refer to. We have to
18 provide our data base on our own for the most part.

19 So in the one sense, we're right where we want to
20 be. If we continue the course, we'll generate answers, not
21 necessarily the answers, but we're in a bit of a difficult
22 position compared to other large and potentially lethal
23 projects like dams, in that we don't have a great data base
24 of empirical evidence. And that's largely because rock
25 masses generally are not heated.

1 There have been some experiments in Southern
2 Nevada. I think many people in the room are aware of them,
3 but there may be some of the newer Board members who are not.

4 In the early Eighties, there was a large scale in situ test
5 at the Nevada Test Site in rock, different from the rocks we
6 have. And later in the Eighties in what's called G-tunnel,
7 there was a single element heater test by Livermore and also
8 another one by Sandia in rocks that are more similar to what
9 we have, but not the same rocks.

10 And what was interesting out of those experiments
11 as far as I'm concerned, and I talked about it with Dale
12 Wilder who was involved with both sets of experiments, is
13 that the water didn't necessarily behave in those experiments
14 like people would have guessed going into the experiment.
15 What it turns out to be is people learn things as a result of
16 the experiments.

17 Now, again, to contrast that experience with dams
18 around the world, with 20,000 of them around the world, for
19 the most part in the site characterization and design and
20 construction of a dam, they don't discover new processes that
21 are going on specifically for that dam. Most of the
22 phenomena you will see have been experienced elsewhere.

23 We also have a fair number of laboratory tests, and
24 this is where you would do a very similar thing for a dam
25 project; you would go out and get core samples and tests and

1 get material properties, and we do have a fair amount of data
2 in that respect.

3 Now, the history of dams is through the course of
4 time, they've gone from simple to more complex. They've gone
5 from small to large, and they've gone from hardly being
6 around at all to having large lifetimes. Well, again, we
7 don't have that luxury with repositories.

8 We had a strategy in a document for thermal testing
9 published last summer that essentially said that was our
10 strategy for our thermal testing. We were going to start
11 small, simple and short and proceed through a whole series of
12 tests to longer, larger and more complex. And I'd like to
13 think that we still can follow that strategy to the extent
14 that we can, but there are always pressures of time and
15 money.

16 Now, what information is to be provided by these
17 ESF thermal tests? Rick had already brought up this subject
18 this morning, and I'll go through it again briefly.

19 One thing is just shakedown, that is, does the
20 equipment work underground. Do the organizations that are
21 working down there, do they interact correctly. Are the
22 systems in place to handle the paperwork, data acquisition
23 and all that? So we will have a shakedown phase that will
24 help us with that.

25 Another thing to get out of the tests are the

1 processes and the parameters, and referring back to the G-
2 tunnel and the climax tests where in those tests, it became
3 apparent that perhaps there were other processes acting that
4 people hadn't originally thought about. And so it's--I'm not
5 saying it's likely or probable, but there is a chance that in
6 the course of the in situ tests in the ESF, we may discover
7 that processes are acting that people hadn't really
8 considered in the modelling or in their design.

9 We're also in there to measure parameters on a
10 sufficiently large scale, things like thermal conductivity,
11 the strength of the rock, the deformation of the rock,
12 modulus. And in that sense, we can again compare it to dams.

13 As I mentioned, I think in the site investigation
14 for a dam, they're not really looking at new processes that
15 nobody else has ever encountered in their experience with the
16 existing 20,000 dams. But they do do large scale in situ
17 site specific tests to measure parameters, such that even
18 though they know all the processes, they still made these
19 parameters of a sufficiently large scale that it's useful for
20 their design.

21 Now, some of the information will be used in the
22 preclosure, and Rick talked about that this morning. But
23 it's also very applicable to the postclosure, and in my
24 personal opinion, I think based on the discussion between
25 Drs. Langmuir and Clark, that the tests in the long run will

1 shed even more light on the postclosure behavior.

2 Now I'll start to address the tests themselves.
3 This is a different view of something that Rick Craun showed
4 you earlier today. This is a plan view. We're looking
5 vertically down on the ground surface. The north portal is
6 out here for the Board, and the Board members who are going
7 to go in, you're going to come in this way. You're going to
8 come around.

9 And back to something Rick said, you know, in a
10 sense, this is in some ways a cartoon, or just a schematic.
11 I doubt that these lengths are to scale or anything like
12 that. It's just to give you an idea of where things are with
13 respect to each other. It's right as you come out of the
14 curve on the inside portion of the curve, that's the location
15 of the thermal test alcove on the repository side of the
16 Ghost Dance Fault.

17 Now, this is a cross-section of that thermal test
18 area. This is a vertical slice showing us how in a schematic
19 sense, how we're to get down to the test area. Rick had
20 showed this earlier. It looks like a J-hook. It was shown
21 on the diagram I just showed you. But here's the main drift,
22 and the drift will have to decline, and then it turns around
23 and comes back, and then goes horizontal.

24 This dark line here is the contact between the
25 upper lithophysal zone and the middle non-lithophysal zone.

1 We want to be approximately 10 meters below that contact when
2 we make the turn to stay away from the large baseball,
3 basketball size holes in the upper lithophysal zone to make
4 the test more understandable for the time being. You know, a
5 large scale test is difficult to interpret anyway, and to
6 introduce the confusion of the lithophysae on how they would
7 affect fluid flow just makes the test difficult at this time.

8 Now, these are nominal numbers. The geology may
9 not cooperate. We may find that the dip of the beds is
10 deeper, but this design will work for now, and as the
11 excavation progresses, core holes will be drilled up to find
12 out where this contact is to make sure that we stay a proper
13 distance below that contact.

14 On some of these diagrams, you'll see reference to
15 Phase 1 and Phase 2. This is Phase 1 of the test, and I have
16 no diagrams to show you about Phase 2. Phase 2 would be a
17 large scale long duration test that more closely approximates
18 the conditions you would have in the repository. This test,
19 which the colors didn't turn out very well, these short lines
20 here which are red in the original, these are wing heaters.
21 These lines are instrumentation holes to be drilled from the
22 thermal test drift itself. These green lines are
23 instrumentation holes to be drilled from the access
24 observation drift over there. There would also be floor
25 heaters in place on the floor of the drift.

1 This test, in order to get an answer in a
2 reasonable amount of time, the wing heaters accelerate the
3 heating of the rock. The way in which heat is put in the
4 rock will be greater in this test than in the repository, and
5 we may get processes to occur that won't occur in the
6 repository with the lower heating rate, which is one of the
7 reasons for having a larger scale longer duration test.

8 This test is good and it does provide us answers sooner
9 for some issues, but it doesn't answer all questions.

10 Here is the shakedown phase of the test, and I'll
11 talk a bit more about it in a minute. This is a cross-
12 section. Again, I doubt that the colors turned out so well.

13 But we have a letter code for them. Here's another plan
14 view of that J-hook, and this diagram is a cross-section, a
15 vertical slice through the earth looking at the access
16 observation drift. It's not horizontal; it's declining. And
17 the heated drift itself with the MPC sized in-drift heater.

18 All these various holes represent the
19 instrumentation holes that will be placed around the drift.
20 As of now, typically three of these cross-sections of
21 instrumentation would be emplaced for the heated test drift.

22 The temperature holes, neutron holes, which are there to
23 measure water content, chemistry holes, again, hydrology
24 holes for where is the water. Mechanical holes refers to how
25 is the rock deforming. The ERT; electrical resistivity

1 tomography is, again, a technique for looking for where is
2 the water.

3 This test would have a heating cycle for 18 to 24
4 months and a cooling cycle for 18 to 24 months. The in-floor
5 heaters are roughly 800 watts per meter along the length of
6 the drift, six or eight of them. The wing heaters, which are
7 right here, I think are up to 15 meters long with a variable
8 heat output along the length of the heater, somewhere in the
9 neighborhood of 100 or more watts per meter squared.

10 Again, I'll point out, somebody asked earlier what
11 are the scales. It is a metric scale, but again, these are
12 generally we're not going out for a firm fixed price contract
13 on these drawings. At this point, they're there to help us.

14 For this same test, we may have as many as five
15 other cross-sections of instrumentation mainly to be used to
16 measure the deformation of the rock mass, but also because we
17 need corrections, thermal corrections, on the bore hole
18 extensometers. There will be temperature measurements made
19 at least along these instrumentation holes, and also perhaps
20 in the inclinometer bore holes.

21 Some of the inclinometer bore holes, as you can
22 see, will be slanted. And if there's enough water set in
23 motion to enter that bore hole, there's a chance that with
24 the decline, we could get the water at the end.

25 That was the heated drift phase of Phase 1, or the

1 heated drift portion of Phase 1. Again, the colors didn't
2 come out too well. This is the shakedown phase, which would
3 be started earlier. Again, this is a cross-section through
4 the shakedown phase. It's a single heater, approximately 5
5 meters long, I think again 800 watts per meter of length.

6 All the other holes either going into the section or in
7 the section are various instrumentation holes. We don't have
8 them all, we don't have the little box with the code, but on
9 my color originals, you can tell the difference in the
10 colors. But the neutron holes are for water, ERT where is
11 the water, thermal is, you know, essentially thermometers,
12 convergence pins are to measure how much the drifts deform.

13 This test will have a heating cycle of nine to
14 twelve months and a cool-down cycle of nine to twelve months.

15 It will have about 1,000 feet of instrumentation holes
16 drilled, whereas the drift scale test will have about an
17 order in magnitude more, 10,000 feet of instrumentation.

18 I wasn't able to show you all the instrumentations
19 for the shakedown phase in the other cross-section view.
20 This is not a cross-section, but a plan view. There will be
21 a hole for a Goodman Jack, which is a device for measuring
22 the deformation of rock. There will be chemistry holes,
23 hydrology holes. MPBX is, again, a device for measuring how
24 much will the rock deform when the heat is added. And rock
25 bolt load cells will be used to measure the loads in the rock

1 bolts.

2 Now, another thing, like I said, we're not going
3 out for a firm fixed price bid on these diagrams. We may
4 have fewer rock bolt load cells. When we see you in April
5 and July and October, things may look slightly different.

6 Now, Rick had much nicer pictures of this than I
7 have, but essentially, it's a snapshot. That's where you're
8 going to be on Friday. That's the thermal test alcove
9 location. I'll skip the other one. You'll get to see it
10 yourself in person.

11 Now, I have three schedules here. And, again, the
12 first one is our baseline. That's when we did our FY96
13 planning, this is what's there, and it relates to what Rick
14 had. If you remember the schedule he had, he had an asterisk
15 by the 12/96 start-up of the shakedown. Plans are well
16 underway to drag that forward.

17 That start, what I call Scenario 2, that really
18 doesn't require that much more spending on the science side
19 of the house, and I can't really say on--I have two Scenario
20 1's. But there's Scenario 2. It moves up to August of '96.

21 And I think Rick mentioned there are ongoing conversations
22 between the engineering, design and construction side of the
23 house and the science side of the house of changing these
24 schedules.

25 Rick had mentioned one thing of speeding up the

1 tests is to use the Alpine miner, while I'm convinced that
2 even if the Alpine miner doesn't work, his organization has
3 shown that they are going faster than people used to think
4 they could go. And I think whether they have to do a drill
5 and blast or Alpine miner, science may be in a position of
6 chasing after the constructor, which is fine. That's a
7 position I'd rather be in than waiting.

8 This third scenario actually does require a lot of
9 money, I mean millions, both on the science side and maybe a
10 million or so on the design and construction side of the
11 house. But this is not new money in the sense, this is money
12 that would have probably been spent in FY97 anyway. But if
13 we could get savings elsewhere in the project and spend the
14 money in FY96 now, it doesn't significantly bring up the
15 start of the shakedown test, but if you look through all
16 these diagrams, it does significantly bring up the start of
17 the larger drift scale test, which really is the more
18 important test as far as I'm concerned, the bigger and larger
19 and longer test is generally better.

20 For those of you interested in dollars, the
21 baseline funding on the science side for FY96 for these in
22 situ tests is roughly \$2.4 million. I think the design and
23 construction side may have had up to a million dollars or so,
24 plus or minus, for the construction of the thermal test
25 alcove. And then there's various other costs spread

1 throughout the other WBS elements, safety and QA and things
2 like that that I'm not aware of what those costs are.

3 But just to give you, and these are very rough
4 estimates, some number pulled out of thin air, that over the
5 course of the next two years for the shakedown phase, design,
6 construct, buy the equipment, all the implementation, might
7 run as much as a million and a half dollars, or as little,
8 depending on how you look at these things.

9 The drift scale phase, which is a longer test, that
10 might run as much as 9 or \$10 million, and the large scale
11 long duration test, which I did not show you, but would
12 involve multiple drifts, might run as much as \$20 million
13 spread over a number of years.

14 Now my summary. To me, geologic disposal is based
15 on using equipment largely supplied by nature. We get what
16 we get, and there's not much we can do about it. We can't
17 take the mountain apart and put it back in place.

18 However, how we handle the heat is one critical
19 variable that is largely in the project's control, and the
20 sooner we have an idea of what we want to do with that heat,
21 the better off we are. Averaged over the past few years, we
22 spend on the project out here maybe a million dollars a day.

23 And even though these tests will be so long they can't
24 provide information for the ACD, the advanced conceptual
25 design, due in March, they may not provide all the answers

1 for 1998 Viability Assessment.

2 The sooner we get them done, the better off we are
3 in determining whether we're correctly spending our what's
4 now and over the past few years been a million dollars a day.

5 And that's that.

6 DR. CORDING: Thank you very much, Bill, for an
7 interesting presentation and a timely completion.

8 I would think it would be interesting to see how
9 you can, with the budget situation and all, and kind of
10 coordinating construction and excavation and science are
11 drilling holes and installing instruments, how you can
12 optimize that. And I agree with your point that the most
13 important thing is to get to that drift scale experiment.
14 Now, if you have to do some other things ahead of that, yes,
15 you do them.

16 But it seems to me that whatever you can do to get
17 to that drift scale experiment, perhaps doing, you know,
18 continuing to run that machine in there to excavate, and
19 currently with some other things you're doing, if you have
20 the ability to do that with the funding and those sorts of
21 things, that would seem to me to be desirable to be able to
22 move that start-up date of the big test as much as you can.

23 Are there any other comments from the Board? Yes,
24 Don Langmuir?

25 DR. LANGMUIR: I'm encouraged, too, that things are

1 moving so expeditiously along.

2 I have a concern and always have that it will be
3 extremely difficult to evaluate mountain scale effects. And
4 I'm thinking here particularly of the coupled process
5 effects, and in this connection, I'd like your thoughts on
6 the design itself of some of the instrumentation monitoring.

7 You've got drill holes in which you're going to place
8 devices somehow to sample for chemistry and hydrology, and I
9 wonder if they aren't going to become themselves the
10 principal route of movement of fluids in the thermal
11 gradient. That's just one concern I've got.

12 MR. BOYLE: Right.

13 DR. LANGMUIR: In which case, you're not really
14 measuring the mountain at all; you're measuring the effects
15 of your engineered system.

16 MR. BOYLE: Right.

17 DR. LANGMUIR: How do you get around that one?

18 MR. BOYLE: Well, the test designers are aware of that.

19 And to use for an example the extensometer holes, the MPBX
20 holes, they're going to be grouted so that we're not going to
21 see water in those. They will not be conduits.

22 DR. LANGMUIR: Okay. But how then are you going to and
23 when can you expect to see the effects of coupled processes?

24 I mean, the big unknown is always going to be this
25 mysterious reflection process and potential precipitation and

1 dissolution at some distance which influences thermal effects
2 and the isolation of the waste.

3 MR. BOYLE: This Phase 1, the heated drift scale test,
4 will provide some answers. That's set up to perhaps get
5 water flowing off the sides, but not necessarily in between
6 multiple drifts, which is what we might be able to see in the
7 large scale long duration test, that isn't that well defined
8 yet.

9 But the answer, if you want the answer, let's come
10 back 10,000 years from now or whatever. To me, that's the
11 only answer, and again I contrast our situation with dams
12 around the world, that even with all the experience, if we
13 were to go down to Hoover Dam, they've monitored it every day
14 since its construction. Even with as much knowledge as they
15 have, it's just prudent to keep watching after things.

16 So I view our thermal testing won't provide
17 definitive answers in our lifetimes or for many generations,
18 but it's the start of a performance confirmation, if you
19 will, that through time will provide as definitive an answer
20 as anybody will ever get.

21 DR. LANGMUIR: This isn't going to satisfy Congress in
22 three years or five years. I'm wondering if you're still
23 looking at geologic analogues as a way to help Congress
24 through this? In other words, you've got at Yucca Mountain
25 some intrusive effects, from which you've got measurements of

1 fluids that you can infer from the mineralogy that's changed
2 historically next to those intrusions, you've got other kinds
3 of contact metamorphic phenomenon around the world with
4 secondary effects that you can identify through thin sections
5 of geologic evaluation.

6 Is there enough of that information available to
7 you, either at Yucca Mountain from historic records like the
8 Schon Levy work, or from other places, to help you through
9 the arguments on what the significance of these effects might
10 be to performance at Yucca Mountain?

11 MR. BOYLE: I don't know. I'm not entirely confident
12 that there is enough information.

13 DR. LANGMUIR: Is anybody looking at that?

14 MR. BOYLE: I can't answer that.

15 But back to an issue that Dennis brought up. You
16 mentioned that maybe Congress won't buy off on this. I can
17 only speak for myself personally, that you might have been
18 able to tell one of the threads through the talk is I'm an
19 empiricist, using dams as an example. We have no empirical
20 evidence for repositories.

21 I would go to Congress today and say I have enough
22 faith in Benton and Dave Stahl that they can design waste
23 packages to last hundreds if not thousands of years. We'll
24 give you an answer on the repository somewhere out in the
25 future, but we have every confidence that it's going to work

1 today. And then I would monitor the heck out of it. And I
2 think in a sense, that's what people with dams do. They
3 don't know all the answers up front either, otherwise there
4 wouldn't be any instrumentation at Hoover Dam, but there is.

5 DR. CORDING: Thank you very much, Bill. And we'll look
6 forward to hearing how you exceed all these schedules as you
7 perceive. Thank you.

8 We're finishing our session this morning. And our
9 schedule will be such this afternoon that we'll have time for
10 an hour and a half lunch. So we will be meeting again at 2
11 o'clock, but please be on time. At that point, Wes Barnes
12 will be adding some comments I think that we'll find of
13 interest, and then we'll proceed with the session by Garry
14 Brewer. 2 o'clock. Thank you.

15 (Whereupon, at 12:30 p.m., a luncheon recess was
16 taken.)

17

18

19

20

21

22

23

24

25

1

2

3

AFTERNOON SESSION

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

DR. BREWER: Good afternoon. I'm Garry Brewer of the Board, and I will be chairing the meeting this afternoon.

The topic on everyone's lips, of course, is transportation, and our agenda is somewhat modified from the one that you see on the formal presentation. Let me give you the plan for the afternoon.

The first presentation, or the first presenter will be Wes Barnes, who would like to spend a few moments amplifying on some of the comments from this morning, and, also, answering whatever the questions the Board or others in the audience might have for him. He'll be speaking for ten to fifteen minutes, or however long, as long as the questions come.

After that, we will hear updates on the programs from the United Kingdom and the People's Republic of China. It has been a matter of importance to the Board, and I think a utility to the American program, that we have been in relatively constant contact with other nations who are in the process of trying to figure out and solve the disposal of high level nuclear waste, and the two programs that will be summarized this afternoon, you see two very different places in terms of the amount that they have been involved, and the

1 approaches that are being taken.

2 At the end of the comments from our international
3 colleagues from the UK and the People's Republic, we'll take
4 a short break, and then return to have not a round table--and
5 this is not anywhere on the agenda, but is a consequence of
6 many questions and loose ends that I think came up in the
7 morning meeting. We'll have an opportunity after the break
8 for questions, commentary directed to any of the presenters
9 from this morning. I will do my best to kind of serve as the
10 ringmaster for this, and to direct traffic.

11 At the conclusion of this period of Q and A, Q and
12 A of loose ends--we'll just call it that for the purposes of
13 identifying it--we will then go to the last item regularly
14 scheduled on the program, which is public comment, something
15 that the Board has always done, and I think, with good
16 effect.

17 What we didn't do, because we had very few staff in
18 place this morning at the beginning of our session, was to
19 ask members of the public who wished to comment to please
20 sign up with Linda Hiatt. She's easily identified, because
21 she's in red, and right there. Raise your hand, Linda. And
22 this is so that we have some sense of who you are and, on the
23 sign-up, what you represent; yourself or whatever the
24 organization. The sign-up sheet's in the back, and that will
25 conclude the day.

1 We have, from what looked like it might be a one-
2 hour session, I think we have taken full advantage of the
3 opportunities created by the storms in the east, and we're
4 going to have a good session this afternoon.

5 At this time, I would like to turn the podium back
6 over to Wes Barnes, the Director of the project here in Las
7 Vegas.

8 Wes?

9 MR. BARNES: Thank you.

10 I asked to be wired for sound so I could move and
11 shoot at the same time. I think they taught that at the
12 Academy.

13 This morning, a couple of you said--the Board
14 members, I'm talking about--that what I said could be taken
15 to be management's more negative than the scientists are
16 about the project. I want to start by telling you two
17 emotional stories.

18 One is Daniel Dreyfus. Dr. Dreyfus was Scoop
19 Jackson's Staff Director, so the committee that Murkowski
20 today chairs, Dan was their Staff Director. Dan's a longtime
21 member of the Democratic Party, very well wired in
22 Washington, very well respected. He waited a long time for a
23 Democratic President, and he probably could have had a lot of
24 jobs. He chose this one to make his contribution.

25 Wesley Barnes owned a consulting company in

1 Washington, D.C. in 1995, '94, and I was making more money
2 than I'm making today, with less restrictions, and less
3 people telling me what to do, and, honest to God, I didn't
4 pay anybody to kick me in the shins.

5 When Dan called me and said he had this job open, I
6 took a lot of walks with my wife, talking about did we want
7 to come to Las Vegas. It's still stunning to me to come out
8 of a meeting dressed like this, and open a door and see it's
9 Vegas. You should come here on vacation, not to work or
10 something, so there were other places for us to go. We are
11 not negative about the project, not at all.

12 I'm very proud of my scientists. You heard, in the
13 next three presentations, the data they're collecting is
14 adding to their belief in the project. You heard how
15 comfortable they are with what they're doing. I know what
16 they're doing.

17 And there's one other remarks that I made. Chief
18 scientist, I used that phrase, chief scientist. I'm in a
19 hiring freeze. I can't hire anybody, and you, and other
20 people that recommended that I hire a chief scientist, I have
21 a deputy, a Ph.D. geologist, Russell Dyer, James Russell
22 Dyer, and I think of James Russell Dyer as my chief
23 scientist. He's a Ph.D. He's been in the program for a
24 number of years. I think he knows what he's doing, and we've
25 been blessed to form a working partnership in my first year

1 here, so I hope that clears that up about the use of the
2 chief scientist.

3 Am I negative, more negative than the scientists?
4 Probably, probably. What I'm trying to do is shield them
5 from the outside world and let them do their job. I think
6 that's what the Project Manager should do, amongst other
7 things, so I have to worry about that. They're upset enough
8 when I tell them their budgets are going down constantly, but
9 I want them to achieve the same objectives.

10 Guys, is there something else I'm supposed to say
11 while I'm up here, all my coaches? Is that it?

12 (No response.)

13 MR. BARNES: I'm surprised Russ didn't pull out a piece
14 of paper and say, "Well, I've got these notes."

15 (Inaudible comment.)

16 MR. BARNES: Well, before I ask you to make a little
17 ten-minute presentation, which I'm going to do, what else
18 should I say?

19 DR. DYER: Russ Dyer, Department of Energy.

20 Wes, let me ask a question on the part of
21 everybody. Where do things stand in Congress now? Things
22 have been back and forth. It looked like there was going to
23 be action, there wasn't going to be action, so what's Dan's
24 current view, what's the conventional wisdom of what's going
25 on and what might happen to this program and this project?

1 MR. BARNES: Mr. Chairman, do you want me to answer
2 that?

3 DR. BREWER: Yes, by all means.

4 MR. BARNES: The Congress comes in for two years, as you
5 all know, so the 104th Congress is going into their second
6 year, so when they adjourned for the Christmas holiday, they
7 did not go sine die. The Congress didn't die. What does
8 that mean?

9 Any bill that was introduced last year is still
10 alive this year, so there are probably a half a dozen
11 meaningful bills in Congress that would change this program.

12 Some of them declare that we, the government, will lease
13 Area 25 to a private consortium. Some tell us that we're
14 going to build interim storage in Area 25 right in front of
15 the mountain.

16 The industry told Dreyfus and Barnes that one of
17 those bills, the Upton Bill, would pass before Christmas. It
18 did not. It could not get to the floor, and the reason it
19 couldn't get to the floor--everybody wanted it, they were
20 pushing the Speaker of the House of Representatives to bring
21 that bill to the floor--was it was a budget buster, so they
22 needed a rule from the Rules Committee that would give them
23 relief to bring a bill to the floor that would bust the
24 budget.

25 When I first heard that the Speaker even put it on

1 the calendar, I thought, "He's either got the rule in his
2 pocket, or he's going to postpone it for two weeks, and
3 they're going to go into recess." He postponed it for two
4 weeks and they went into recess.

5 That's a long answer to I don't know.

6 DR. LANGMUIR: Wes, could I ask a related question?

7 MR. BARNES: What Dr. Dreyfus is getting ready to do is
8 get ready to go in front of Congress in March and tell them
9 how much money he wants, and what he wants it for. To the
10 best of my knowledge, the President of the United States
11 would like to see us finish site characterization of Yucca
12 Mountain before interim storage is ever built, or a site is
13 named. That's my understanding.

14 DR. LANGMUIR: Wes, have you any feel for whether any of
15 the legislation that's been proposed could get enough support
16 to pass over a Presidential veto, which is likely? There's a
17 whole lot of legislation out there, but as long as there's a
18 veto...

19 MR. BARNES: That's a very good question. I don't know
20 what that answer is. On the House side, I believe there were
21 over 200 cosponsors to the Upton Bill. The companion bill on
22 the Senate side was introduced with ten, and I think now it's
23 got close to twenty. I don't think that makes it. What is
24 it, two-thirds for a veto? So 200 is not enough--435,
25 that's--that won't get the job done. It depends on what it

1 passes with.

2 It seems to me that the industry is putting all
3 their money on the Upton legislation. They're pushing every
4 state, the 35 states, to push that particular piece of
5 legislation, so my guess is they're not going to come off
6 that position right now. You know as well as I do that any
7 organization in Washington, including the government, their
8 first goal is self-preservation.

9 DR. BREWER: Okay. Are there other questions from the
10 Board for Wes Barnes?

11 (No audible response.)

12 DR. BREWER: Wes, thank you very much.

13 MR. BARNES: You're welcome, sir.

14 DR. BREWER: For the reprieves.

15 Now I'd like to focus the meeting on developments
16 in the repository programs of two other countries, England
17 and the People's Republic, as I mentioned before.

18 In England, the Nuclear Waste Disposal Program is
19 in the process of being reexamined. United Kingdom NIREX
20 Ltd., the company responsible for the siting, characterizing,
21 and building of a repository for the disposal of intermediate
22 level waste, is in the midst of a public inquiry brought on
23 by its proposal to build a rock characterization lab at a
24 site in Cumbria County.

25 The Board believes there may be some parallels

1 between the issues being raised in England and the U.S., as
2 those involve a look at the current priorities of their
3 nuclear waste disposal programs, and the scientific and
4 technical bases needed to support these priorities.

5 In contrast, the People's Republic of China is just
6 beginning the process of developing a work program,
7 characterize its site for the disposal of high level waste.
8 From our vantage point, much progress has been made in a
9 relatively short time frame in the People's Republic. The
10 program is now focused on a specific area of the Gobi Desert
11 in northwest China, a desert area that shares some
12 similarities to our own Yucca Mountain here in the United
13 States.

14 Let me now move on to introduce one of our guests,
15 before introducing the speaker from United Kingdom NIREX.
16 We're pleased, really honored to have Sir Richard Morris and
17 Mr. Michael Folger with us today. Sir Richard has served as
18 Chairman of UK NIREX Ltd. since 1989, following his career in
19 private industry. Most recently, from 1980 through 1990, he
20 served as Chief Executive, then Chairman of Brown & Root Ltd.

21 Sir Richard is also currently Chairman of the Advisory
22 Boards of Kellogg Oil & Gas Services, Ltd., and M.W. Kellogg,
23 Ltd. He was knighted by Her Majesty, the Queen, in June of
24 1992 for his services to science and industry.

25 A heartfelt welcome to you, Sir Richard, and many

1 thanks for the courtesies shown to us in the past by UK NIREX
2 and others of our colleagues and friends in the UK.

3 Now, Mr. Michael Folger, our speaker, served as the
4 Managing Director of NIREX Ltd. since 1991. Following
5 education at Cambridge University, Mr. Folger undertook
6 increasingly responsible positions in and out of government,
7 which culminated in his service as Senior Vice President in
8 the London office of Dean Witter Reynolds.

9 From there, at Sir Richard's urging, from what I
10 understand, Mr. Folger departed to serve as Managing Director
11 of UK NIREX. He twisted your arm, as we say in the American
12 vernacular.

13 Mr. Folger will provide us with a brief update on
14 overall developments in the UK's waste disposal program.
15 Then he'll mention a few of the issues surrounding the use of
16 expert judgment, and probabilistic risk assessment.

17 Welcome, Michael Folger.

18 MR. FOLGER: Thank you, Chairman.

19 Ladies and gentlemen of the Board, Sir Richard and
20 I do very much welcome the opportunity to meet you and give
21 you an update on progress in the UK. I think it was June,
22 '94 that the Board--and I think it would include still some
23 of you here today--visited our site at Sellafield, which is
24 on the coast of northwest England, and had some discussions
25 with some of my colleagues at that time.

1 Make the magic lantern work. We're getting there,
2 we're getting there. That's it.

3 DR. BREWER: No. At this point, Michael, you say, "Are
4 there any questions?"

5 (Laughter.)

6 MR. FOLGER: There we are, a fine shot of NIREX, and
7 there is our site, our prime object of interest, and I think
8 it's interesting to look at its location, because it's both
9 geologically and historically interesting. This is the
10 reprocessing plant of British Nuclear Fuels at Sellafield.
11 There is a Magnox power station, and this, of course, was the
12 British Hanford. That's it, so, in there, these were the
13 early piles for the production of military plutonium now
14 being decommissioned.

15 Our focus of activity is a mile and a half, three
16 kilometers inland from there. This shows some of our
17 drilling rigs. You can see the rising ground behind the
18 facility. You can see the sea, the Irish Sea. So, that was
19 a scene in assessing which some of you may recall from '94,
20 but, since then, as reflected in the background materials
21 which I think I sent on ahead of time to members of the
22 Board, we've seen quite a lot of progress.

23 I'll keep my remarks brief, because I think in the
24 questioning, some of the differences, but some of the
25 similarities with the U.S. program will come out. I will

1 stick with a high level overview. As you've heard from the
2 introduction, I am not a scientist. I did run some numbers
3 at MIT, but that was at the Business School, not in the
4 Geology Department. My scientists are today, in Day 51 of a
5 public inquiry where Greenpeace and Friends of the Earth are
6 producing some of their spook science, so I'm afraid it's me
7 that you have, rather than my Director for Science.

8 The national policy on radwaste disposal in the UK
9 was reaffirmed by the British government in a "White Paper,"
10 curiously enough, last Fourth of July.

11 The financial and philosophical arguments about the
12 timing of disposal were reviewed in detail. The British
13 government set its whole review process in the context of the
14 Rio declaration and sustainable development, and it confirmed
15 deep disposal of radioactive waste as an important part of
16 sustainable development. In the UK, those international
17 organizations are seen as very important, and are an
18 important part of the debate.

19 The clear conclusion was that construction of a
20 deep repository should proceed as soon as reasonably
21 practicable, once a suitable site has been found, and my
22 company's program to identify such a site was given full
23 backing. The precise timetable for availability of the
24 repository was explicitly recognized as depending on the
25 scientific requirements for establishing a sound safety case.

1 There was a recognition, too, of the time needed to secure
2 planning permission, or what, in U.S. Parliament parlance
3 would be called zoning approval for each phase of our
4 program, and, also, for the regulatory approvals needed along
5 the way.

6 I should stress that there is no special
7 legislation governing our program. As we proceed to make
8 these investigations, and, in due course, we proceed to
9 develop a repository, we are treated in just the same way as
10 someone seeking to deliver a shopping mall, as it were.

11 There is no special legislation. NIREX is a company with
12 slightly special constitution, but it has no special powers.

13 It must proceed each step of the way as if it were a private
14 developer, though, of course, with a very full and proper
15 framework of nuclear safety regulation.

16 The priority for deep disposal in the UK, and the
17 focus of NIREX's current responsibilities is intermediate
18 level wastes which arise from reprocessing of fuel. We do
19 not, at this time, have utilities which have taken a firm
20 decision to propose direct disposal of fuel. Historically,
21 the fuel has been reprocessed through that plant that you see
22 there. There may, within time, be utilities proposing direct
23 disposal of spent fuel, but at the present time, the focus of
24 national policy is on disposing of the intermediate level
25 wastes from reprocessing, which can be thought of as roughly

1 equivalent to the TRU wastes, as you call them in the States.

2 And there is a rather difficult to fathom
3 photograph of a 500-meter drum--it stands about five feet
4 high--filled with swarf stripped, being the fuel cans
5 stripped from a metallic uranium fuel, which was what was
6 used in our Magnox reactors, and it is that material which is
7 the main driver for the disposal in the UK. It's a magnesium
8 alloy material. It's of a mixed character, relatively bulky,
9 and less stable, chemically, than vitrified high level waste
10 or oxide fuel.

11 And the continuing strand in government policy has
12 been that because of its chemical form, its relative bulk,
13 we're looking at disposing between 200,00 and 275,000 cubic
14 meters of that material. We should be moving ahead to solve
15 that problem first, with spent fuel and high level waste,
16 which pose, in our view, a somewhat lesser technical problem
17 --I know that may not be the view of all our U.S.
18 colleagues, but, because of its chemical form, this material
19 is the one to get ahead with in the view of the UK
20 government.

21 Because it contains magnesium, and because we are
22 not blessed with a Gobi Desert or a Nevada desert, and we
23 have a wet geology in the UK, water plus magnesium will cause
24 hydrogen and gassing off, so all these containers are vented,
25 so there is no hermetic seal. There's no possibility of

1 cladding the material with copper, which is what the
2 Scandinavians are looking at, and I was interested to hear
3 the idea this morning of ceramic coating of the fuel rods in
4 the U.S. That's not open to us. If you attempted to clad
5 that or hermetically seal it, it would split open because of
6 the generation of gasses.

7 High level waste from reprocessing in the UK is
8 currently being converted into solid form, after which most
9 of it will be held by British Nuclear Fuels at the site that
10 we saw earlier, in a passively safe surface store, to cool
11 down for at least 50 years.

12 Last year's White Paper announced that the
13 government would be initiating research work to define a
14 specific long-term strategy for that waste, which would also
15 cover any spent fuel which the utilities do offer for direct
16 disposal. That strategy is envisaged as leading to disposal
17 in an underground repository separate from the NIREX
18 repository, separate, probably, in geography, and certainly
19 separate in time, because it will be 2075, 2080 as the
20 indicated date, the second half of next century, before
21 anyone proceeded with a repository for that material because
22 our philosophy is to let the high level waste cool before
23 disposing of it.

24 So, against the helpful policy background of the
25 government reaffirming deep disposal, we have made some

1 excellent progress over the last 18 months with our site
2 investigations. In terms of specific expenditure at
3 Sellafield, we have committed something like \$300 million up
4 to the spring of '95 through a program comprising about 20
5 deep boreholes, some running to a depth of more than two
6 kilometers, and other studies, including seismics,
7 electromagnetic studies, and the full panoply of geophysical
8 studies.

9 In the light of that, we've been able to prepare a
10 first-cut, risk-based safety assessment for the crucial
11 groundwater pathway, and all this is in relation to a
12 conceptual repository. I very much found myself sympathizing
13 with some of the remarks this morning, about the importance
14 of understanding the site in relation to a conceptual design
15 rather than burning up too many taxpayer dollars up front in
16 a detailed design for the final repository.

17 But, the probabilistic modeling that we've done of
18 the performance of a conceptual repository shows good
19 performance for a range of future climate states for such a
20 repository at Sellafield, and the numerical yardstick that we
21 have is a ceiling on the annual risk to a representative
22 member of the critical group at any time in future, and that
23 has been set at one in a million per annum, or 10^{-6} target
24 ceiling, and, of course, depending on what the ICRP
25 recommendations are at any time, you can translate that risk

1 ceiling into a dose target.

2 And the result we have is robust and not just to
3 the setting of different climatic assumptions, but also to
4 alternative treatments of the performance of key features of
5 the Sellafield site, and I should, perhaps, at this point set
6 out that site.

7 I showed you previously the sea. Here is the
8 Sellafield reprocessing plant. Here, inland, is our focus of
9 interest. This is the nominal repository zone, high land
10 behind this, rising to 3,000 feet, which happens to be the
11 highest land in England, if not in Scotland. A volcanic
12 rock, a tuffaceous rock--a very different kind of tuff from
13 that which you have at Yucca Mountain, much harder--it lies
14 in the area of interest some three or four hundred meters
15 below the surface, and there is an overlying sequence of
16 sandstones, and a breccia, impermeable layer, somewhat broken
17 up, but, nevertheless, present to the western part of the
18 site.

19 So, that's the setting that we have, and the
20 evidence is that there is a very sluggish flow of saline
21 water, not a brine, but something perhaps 50 per cent or 100
22 per cent more salty than sea water in this underlying rock.
23 There may be something of a U-tube effect driven by the
24 exposure of these rocks inland, in the high mountains, so a
25 small upward driving force and some component of upward

1 movement through here, but, in the overlying sandstone layer,
2 essentially, what, as a layman, I perceive to be a flushing
3 action, heavy annual rainfall, 60 or 70 inches running off
4 through the sandstone, and, therefore, carrying any material
5 that is taken up by flows through the repository zone, a
6 mixing action, and carrying it offshore.

7 For disposal of the reprocessing waste--and I
8 showed you a classic form of it a few minutes ago--our
9 concept provides for packaging in stainless steel drums which
10 are then set within a cementitious backfill, which is
11 expected to hold the pH above 10.5 for around a million
12 years.

13 So, the concept that we have is that within the
14 stainless steel drum, what I showed you, although we are not
15 making verified claims for its performance, we believe that,
16 in due course, we shall be able to set down a life of perhaps
17 1,000 years for that stainless steel drum. That will take
18 care of the fission products, and the cementitious backfill
19 present in hundreds of thousands of tons of quantity will
20 suppress the solubility of the actinides.

21 In this setting, we have no alternative but to
22 assume full resaturation by the groundwater within a short
23 space of time, tens or hundreds of years once the repository
24 is closed, so we are planning for total resaturation, but, of
25 course, at that depth, there will be little oxygen present.

1 There will be a reducing chemical environment, because within
2 the waste itself, there are hundreds of thousands of tons of
3 ferrous materials, so, yes, we're well aware that those--even
4 stainless steel, in certain conditions, can corrode, but
5 there, in the absence of oxygen and a reducing environment,
6 we think there's a long life for the containers.

7 So, with the containers taking care of the fission
8 products, the cementitious backfill taking care of plutonium
9 and the other actinides, the radionuclides which define
10 safety performance seem to us to be the mobile and long-lived
11 species, like Chlorine-36 and Iodine-129, and, over the very
12 long term, the Uranium-238 daughter, Radium-226.

13 For such a system nestled down here in the volcanic
14 rock, the key hydrogeological parameters at Sellafield have
15 become pretty clear. They are the annual flow through the
16 repository nearfield, the flow through this volume here, and
17 the volume will be the high hundreds of thousands, perhaps a
18 million cubic meters of excavated space, which will be
19 backfilled.

20 Our current calculations suggest that through that
21 volume, there will be an annual flux of about 100 cubic
22 meters, so that's a very slow changeover rate, a very slow
23 flushing action.

24 The second part of the equation that appears to be
25 crucial is the dilution of that flow when it encounters the

1 overlying aquifer. I had some difficulty understanding the
2 drawings this morning until I mentally turned them upside
3 down. Our aquifer is on top, rather than underneath, but the
4 dilution that we believe is there from our preliminary
5 calculations is a factor of about 1,000, which, by
6 coincidence, seems to be DOE's current view at Yucca
7 Mountain.

8 The volume of flows through the repository is very
9 important in our case because it needs to be sufficiently low
10 to ensure that the chemical conditioning by the backfill, the
11 suppression of the solubility of the actinides, in
12 particular, is not prematurely exhausted.

13 Flow through the repository also determines the
14 spreading time of the source term in our modeling, which is
15 the time taken for release of radionuclides in the water from
16 the nearfield into the geosphere.

17 Together with spreading in time during transit
18 through the geosphere, what happens to it once it has got
19 into solution, we have determined the effective dilution of
20 residual radionuclides which are released from the
21 repository, and, hence, the associated radiological risk.

22 For a naturally evolving repository at Sellafield,
23 leaving aside the idea of human intrusion or extraction of
24 water from wells in the sandstone, our base case modeling,
25 taking account of uncertainties, gives realizations generally

1 the right side of the 10^{-6} contour in terms of individual
2 risk.

3 I apologize to people at the back, because you
4 can't see this bee swarm in here terribly well. That is some
5 500 probabilistic realizations, Monte Carlo simulations of
6 different views of the site, with different views about
7 parameter uncertainty in key respects, and for each of those
8 cases, one can define and calculate a source term spreading
9 time, and geosphere spreading time, and plot the outcomes for
10 each pair of those key parameters against the safety
11 contours, and the further out you are, the lower the risk, in
12 general terms.

13 So, this is the, in red here, is the regulatory
14 target. I would stress that that is a target. Our
15 regulators have set out some really quite helpful guidance,
16 stressing that you can't determine a safety case by a single
17 number, but it's reassuring that, although that isn't a
18 written in blood limit, the great majority of this bee swarm
19 of outcomes lies healthily beyond 10^{-6} , round at about the 10^{-7}
20 level, and that picture, which is for the peak risk at any
21 time, is, of course, consistent with--oh, I seem to be going
22 in circles here; sorry. I'm trying to go back to the slide
23 that I jumped over.

24 This is a deterministic calculation rather than a
25 probabilistic one, but it's the simplest one to understand to

1 make our point, that it's actually Chlorine-36 which is
2 actually hidden under the red here, which is the driving,
3 defining nuclide which defines the safety performance through
4 the first 10,000 years, and you're into 100,000 years before
5 anything else makes much of a contribution. So, that's just
6 an illustration of the fact that we are not planning for
7 total hermetic containment. We are seeing some risk from
8 Chlorine-36 after just a thousand years, but, obviously, at a
9 very small level. The annual risk at that point would only
10 be 1 in 10^{-12} .

11 In the longer term, it's the Radium-226 which picks
12 up and defines the long-term safety case, so it's really
13 chlorine here, and then, very soon, Radium-226, and there is
14 a perspective that the chlorine is so mobile there's nothing
15 much you can do about it except dilute it, and the Radium-226
16 is going to come, and over time scales of 10^6 or 10^7 years,
17 ten million years, that's with us on the planet, and there's
18 not a lot we can do about that, either.

19 An important focus of our ongoing work is obviously
20 to tighten up our estimates of volume flow and of dilution,
21 and validation of our models to increase our confidence in
22 the natural discharge projections that we have; separately,
23 the impact of intrusion by wells into the sandstone, which
24 you will recall is being addressed. Encouragingly, even the
25 current deterministic modeling of that case, with

1 conservative assumptions about the nature of the wells and
2 associated population patterns and lifestyles, gives a risk
3 outcome well within 10^{-5} , which is within striking distance
4 of 10^{-6} .

5 So, our next step, to shed light both on the
6 conditions in the sandstone layers, and, more generally, in
7 the deep rock to look at the evolution of a naturally
8 evolving repository, is to build that extra confidence in our
9 observations.

10 Selecting Sellafield as the repository site--which
11 we've not yet done--that needs to be based on confidence,
12 sufficient confidence to submit a planning application for
13 repository development, and, also, to make applications with
14 the UK's Environment Agency, and our Health and Safety
15 Executive. The Environment Agency roughly parallels your
16 EPA, and our Health and Safety Executive roughly parallels
17 your NRC.

18 And, to build our confidence in the models, and our
19 view of the site to that point needs, in our view, to be
20 driven by access to information from an underground
21 experimental facility, which we call the Rock
22 Characterisation Facility. This is a site-specific
23 underground rock lab to be developed in three phases over ten
24 years, at a planned depth of 650 to 900 meters below sea
25 level.

1 In broad concept, it's very similar to the ESF, and
2 I found myself sympathizing with remarks this morning about
3 the fact that one can have a good grip on a site, but it's
4 essential to get below ground to build the safety case to the
5 point where you can take it to the regulators. But, in our
6 case, our focus is on testing the characteristics of the rock
7 and of the hydrogeology in a saturated rock environment,
8 rather than a geological setting lying above the water table.

9 The first phase of the RCF is the sinking of two
10 shafts, each five meters in diameter, some 700 meters deep,
11 and that will be done through a very closely-instrumented
12 array of boreholes, seven or eight boreholes within a few
13 tens of meters of each other, because that will be a very
14 important drawdown experiment, enabling us to see how the
15 water actually flows initially through the sandstone layers,
16 and then, once we get into it, how the water actually flows
17 in response to this pressure differential when we're in the
18 volcanic rock.

19 There will then be two further phases. Phase 2, in
20 the red color here, is driving roadways, fairly small, by
21 drill and blast, rather than a tunnel-boring machine, and
22 then the third stage will take that out further so that we
23 have a kilometer-long total array of galleries for access by
24 our scientists, and, down there, we will be doing many of the
25 things that we heard about from the Experimental Studies

1 Facility.

2 We have, in that Phase 1, a drawdown experiment
3 which we can follow. In the later phases, there will be
4 lateral drilling, pressure testing between boreholes drilled
5 from the facility, tracer tests, and so on. There will be a
6 step change in our confidence levels from that first phase,
7 which will run for about four years, from the point where we
8 can start doing it.

9 On that basis, and assuming we get a conclusion on
10 our current planning application in the course of next year,
11 we could have a repository in operation by 2012, but we may
12 need to take longer.

13 To our regret, in December of '94, our request for
14 planning permission for the RCF as an exploratory and
15 research facility was refused by the local planning
16 authority, the Cumbria County Council mentioned in the
17 introduction. This refusal was despite significant local
18 support for the RCF as a research facility from the general
19 public. We are now, as I said, into Day 50 of hearings,
20 which should go on for another month or so. They are
21 conducted by a government inspector under our standard zoning
22 laws, our Town and Country Planning Act.

23 That statute does, however, have considerable
24 flexibility, and the Secretary of State for the Environment
25 has published advice to the inspector which has allowed a

1 thorough debate of relevant issues, including the emerging
2 safety performance, the emerging safety assessment for a
3 repository at the site.

4 We have been able to set out that emerging safety
5 assessment, taking account of the encouraging scientific
6 results which I have explained in very summary terms. We've
7 also been able to report to that planning inquiry the strong
8 support for the RCF approach which we've had from our Royal
9 Society and from our Radioactive Waste Management Advisory
10 Committee, the RWMAC Committee, which is roughly analogous to
11 the Board itself.

12 Witnesses appearing for the objecting parties,
13 including Environment Resources Management, a U.S.-based
14 firm, which has supplied witnesses for the County Council,
15 and various academics for Greenpeace and Friends of the
16 Earth, have, through the inquiry process, been able to set
17 out their counter views about the promise of the site. In
18 many cases, these have not been set in a coherent,
19 probabilistic safety assessment framework. We've had lots of
20 taxonomic discussion of the geology, emphasis on its
21 complexity, without anyone--or with few of those witnesses
22 being ready to come down, or reach out from that specialism
23 to debate what that may mean or what it may not mean in terms
24 of bottom line safety performance.

25 We judge that the public perception of our science

1 case is emerging strengthened from the inquiry process. We
2 didn't seek the inquiry. Its cost, taking account of our
3 interest charges this year, will be close to \$80 million, but
4 it is proving to be a good opportunity to expose some of the
5 poor science that's been ranged against us, and to raise
6 public awareness of the high quality of our own work.

7 By and large, sensationalism has been avoided
8 through the inquiry process. The disciplines of having to
9 submit evidence in advance, in writing, has enabled some of
10 the wilder claims about earthquake risk, and so on, to be
11 subject to searching cross-examination, and to rebuttal
12 evidence.

13 Aside from the supposed unsuitability of the
14 Sellafield site, a primary focus of some objectors,
15 particularly the County Council, has been the basis of my
16 company's historical decisions to investigate from amongst a
17 list of 12 sites evolved in the late eighties, to investigate
18 first two sites, Dounreay in Scotland, and Sellafield, from
19 the short list of 12, and to have chosen those because there
20 was a degree of support for the nuclear industry in those
21 localities.

22 In evidence, the company has been quite open about
23 the basis for its decisions, but as all the 12 sites were
24 assessed to have the ability to meet the tight 10^{-6} target,
25 it was legitimate and reasonable to take account of local

1 understanding and support.

2 We've also reaffirmed the importance and relevance
3 of cost considerations as a matter to be given due weight in
4 site choice, providing the safety requirements can be met.

5 There has, I know, historically, in the U.S., been
6 a debate about the approach to site selection, and, indeed,
7 much of our work in the 1980s followed U.S. examples in using
8 multi-attribute decision analysis to rank siting
9 opportunities, but, at the end of the day, what we have done,
10 we believe--and this has gone unchallenged in the inquiry--
11 fully meets the International Atomic Energy Agency
12 guidelines, and I think that issue is now being seen in a
13 much more mature context than it was by some commentators
14 before the inquiry opened.

15 More generally, we have revealed summary
16 information about all the 12 sites across 30 different
17 attributes, including our specific desk-based analysis of
18 their safety performance, and I think that's demonstrated our
19 commitment to openness.

20 I note that tomorrow there is to be some discussion
21 of expert judgment and its place in probabilistic safety
22 analysis. That issue has come up in our inquiry in the UK.
23 Objectors have naturally sought to emphasize the fuzziness of
24 some of the judgments used in setting up probability
25 distribution functions for various site parameters, and also,

1 aside from the data uncertainty, the model uncertainty
2 involved in drawing up a model for behavior through hundreds
3 of thousands of years.

4 But, my impression is that this issue has not
5 really taken off as a big deal, colloquially, in England.
6 Most of those who follow our affairs, and many of the
7 witnesses at the inquiry are geologists who come from a
8 discipline which, by definition, almost, has to accept the
9 necessity and the unavailability of expert judgment, but
10 we've been able to set out clearly how we go about moderating
11 and organizing the process of expert judgment elicitation.

12 I've circulated materials in advance which some of
13 you, I'm sure, will have had an opportunity to look at, so I
14 don't think that is currently, in the UK, a major issue.
15 There is a, I think, a shared perception, certainly, between
16 ourselves and the regulators reflected in the report by
17 Professor Watson of Cambridge University, prepared back in
18 '92, which set in place the Sandia Labs approach to the same
19 issue.

20 Before finishing, and leaving that subject, I
21 should just mention that we've had an interesting debate in
22 the UK through 1995, not just on the general policy, not just
23 on whether we should be allowed to proceed with this
24 experimental facility, but with two other areas, which I
25 could cover in questions.

1 Firstly, the appropriate regulatory guidance about
2 what an acceptable safety case for deep disposal should
3 encompass. I've mentioned the 10^{-6} risk target, and that
4 assessment of performance against it is recognized as very
5 important. It's been confirmed recently that that should be
6 done in terms of expected values of outcomes, and I think
7 that the National Academy of Sciences report on that matter,
8 which is something we've closely followed in the UK, has been
9 quite influential.

10 In addition to the 10^{-6} target being explained a
11 little more clearly, the regulators have said a great deal,
12 in generally sensible terms, as we would perceive it, about
13 the impossibility and the danger of being drawn into a debate
14 simply about numbers. One's got to have a multidimensional
15 safety case, which, certainly, through the longer time
16 periods, looks at other comparatives, natural radiation, and
17 so on, as well as performance in relation to a risk target.

18 Generally, we detect some convergence between UK
19 thinking and the National Academy of Sciences approach.
20 We'll be interested to see how the U.S. regulators pick up
21 that report.

22 The second issue which has come up, which I mention
23 because I think it may be of some interest in the U.S.
24 context, is whether a more prescriptive approach should be
25 taken in future in UK practice on site selection.

1 I mentioned that NIREX is a private company,
2 broadly can take its own decisions, which have to be rational
3 and sensible, and so on, but we do not have a statutorily-
4 driven process for how we go about site selection. There was
5 a government-appointed study group report in early '95, which
6 recommended a somewhat different approach. In particular, it
7 recommended consideration of quantitative hydrogeological
8 indices to rank sites on a desk-based basis, to give safety
9 even above and beyond the 10^{-6} level, to give that a greater
10 weight, with cost and other socioeconomic factors not taken
11 into account until a later stage.

12 The idea was, also, that final site selection
13 should be done by government, rather than the repository
14 developer, and that there should be a multiplicity of
15 possible sites announced, and extensive public consultation
16 in each area. All that would have been overseen by a new
17 "Commission" to see this process carried through.

18 In the White Paper, perhaps not fancying the idea
19 of making itself responsible for nominating the site, the
20 government did not retrofit any such approach to the NIREX
21 program, but it did indicate that aspects of the study
22 group's thinking should be borne in mind in future in
23 selecting a site for high level waste disposal. So, that's
24 another issue which we could cover in questions, if it's of
25 interest.

1 So, that, Mr. Chairman, is a somewhat breathless
2 account of where we've got to in the UK over the last 18
3 months. Obviously, there's a lot of science underlying those
4 summary curves that I've shown you. Thanks for your
5 attention, and I'd be very happy to take questions.

6 DR. BREWER: Thank you, Mr. Folger. Thank you very
7 much.

8 Are there questions from colleagues on the Board?
9 Don Langmuir?

10 DR. LANGMUIR: Michael, thank you for the opportunity to
11 hear this and be updated. I was over there last spring and
12 gave a talk for the Board at a meeting in which NIREX
13 described their program, and I see some changes and some
14 developments since that time. I'd be curious to have your
15 thoughts on them.

16 Can you find the first slide, which was the
17 Sellafield--it may not be the first slide, actually; the one
18 that showed the Sellafield cross-section, with the proposed
19 repository shown on it.

20 MR. FOLGER: Sure.

21 DR. LANGMUIR: I was amused by your observation that
22 this was an upside down Yucca Mountain, perhaps, going from
23 unsaturated to saturated.

24 At the time I was there listening to discussions of
25 the site, there was concern that the fracture zone shown on

1 the illustration coming up through the tuff might potentially
2 conduct flow upward from below, and in the eyes of the
3 objectors, make the site unsuitable, and you pointed out that
4 that's been acknowledged as going on in this case, and that
5 there's dilution with flows moving towards the down dip,
6 towards the ocean, with dilutions of perhaps one to a
7 thousand, this sort of thing.

8 Another objection at that time, among those from
9 the environmental groups, was that perhaps the concentrations
10 radionuclides, even if they were being diluted, might be a
11 problem in the shallower horizons, with the uprising of
12 potential fluids from a repository.

13 I just wonder where you've all come with regard to
14 that concern at this time.

15 MR. FOLGER: Well, to answer that in two parts, yes,
16 some of the faults don't come into the sandstone, some do.
17 In general, across the site, when we put our boreholes down,
18 we find that the flowing features are not the fault zones.
19 The fault zones are well-mineralized because the faults
20 haven't moved for many tens of millions of years. But, to
21 have any kind of intrusion which has a differential
22 conductivity compared with the adjacent material can give
23 you, as it were, a kind of ruling effect, so that flows
24 contract up it.

25 The kind of path lines that we generate show--and,

1 of course, these are for tiny flows, you understand. I
2 mentioned perhaps 100 cubic meters through hundreds of
3 thousands per annum--that they will tend to move up and
4 follow some of these dislocating features.

5 When they get into the sandstone, there's a kind of
6 refraction effect that I'm sure you're well aware of. It's a
7 little like the sine ratio equation for refraction of light,
8 that when a flow moves from a denser medium into a less dense
9 medium, it's refracted, so we get flow paths, for some cases,
10 which do come up, and then run out this way, relatively close
11 to the surface, but perhaps 200 meters, which is a lot of
12 material.

13 And, our rule of thumb, historically, has been that
14 we want to be a minimum of 200 meters below the surface.
15 Here, because the sandstone isn't terribly suitable as a
16 repository medium, we're 650-700 meters deep, but I don't
17 think we want to be too exorcised by the fact that some of
18 the output, through long historical time, could come within
19 200 meters. That's still a long distance, and, as I
20 mentioned, our deterministic evaluation of agricultural
21 wells, which might run, perhaps, 50 meters deep, show that
22 even with very conservative assumptions, we do not have a
23 significant issue there. There are conservatisms there which
24 we believe we can relax through time.

25 DR. BREWER: Okay. Are there other questions from the

1 Board, colleagues? John Cantlon?

2 DR. CANTLON: Yes. You were commenting about the
3 resistance to the siting of your Rock Lab, and, as I recall
4 from our visit, there was some kind of an agreement that that
5 site itself where the Rock Lab was could not be a repository
6 site? Am I recalling correctly, or is there no such
7 understanding?

8 MR. FOLGER: No. The terms of the planning permission,
9 the zoning approval that we get for it will allow it to be
10 used only for research and experimental purposes. There is a
11 whole separate procedure, which, perhaps, I should have
12 mentioned, which is that once we get the Rock Lab built, and
13 once, as we expect, but we can't be sure, once it begins to
14 validate what we've found from our surface investigations,
15 and we've, therefore, got a strong enough safety assessment
16 to take to the regulators, at that stage, there will then be,
17 as Saddam Hussein would say, the mother of all inquiries,
18 which will look at the zoning issues and the safety issues,
19 all in one giant procedure, which will go on for a total
20 period of three years before we get an answer.

21 So, no, we are not saying that this Rock Lab site
22 is excluded from consideration. There are countries that
23 have had rock labs on that basis, and Canada is one,
24 Switzerland another, Sweden, sort of, but if you press the
25 Swedes, it is entirely possible that they may propose a

1 repository within a few kilometers of their lab.

2 DR. CORDING: Ed Cording.

3 I was interested in what you see--and you indicated
4 the three years time following the exploratory site to make
5 some decisions about making it a repository, that three-year
6 period.

7 What do you see in terms of a time for going
8 through a process of, say, a licensing, to, say, approval to
9 build a repository? Do you have a time? Is that being kept
10 open and flexible?

11 MR. FOLGER: Yes. Basically, we are, you know, we are
12 financing this thing by prepayments and loans from our
13 principal users, so time is money for us, and there's
14 actually an interest charge on our income statement every
15 year, so we have a real discipline not to take more time than
16 we need to.

17 But, in broad terms, starting from today, if we get
18 approval for the Rock Laboratory by mid-'97, that's the
19 middle of next year, then within about five years, we would
20 have actually dug those shafts and completed Phase 1 of our
21 investigations.

22 Our assumption, backed by a lot of outside advice,
23 not only to us, but to the regulators, is that Phase 1 will
24 give us enough confirmatory data to make an application for
25 development approval under the zoning laws, and an initial

1 application for licensing from the safety authorities.

2 There will then be a three-year period for this
3 great public inquiry, and then there will be seven years of
4 construction, so we're talking about, five plus three plus
5 seven is fifteen, so 1997, plus 15, gives us 2012 as the
6 implied date for going into business. Five years for Phase
7 1, three years, then, for the inquiry, seven years to build
8 the facility.

9 I might say that there will, of course, be
10 continuing activity in Phases 2 and 3, which we need to do
11 anyway, to build our final safety case, to get our actual
12 license loosened for all applicable conditions in 2010, 2011.

13 DR. BREWER: Leon Reiter of Staff.

14 DR. REITER: It's unfortunate that we don't have the
15 other discussion today, which had to do with the National
16 Academy report and proposed standard.

17 One of the big issues of contention among some
18 people is the time period that's being proposed. As you're
19 well aware, we've been looking at 10,000 years, and, indeed,
20 there are bills in Congress which would also stipulate that
21 as the period, but the National Academy said, "Let's look out
22 to periods up to a million years, when peak dose occurs," and
23 I notice that you show plots out to 10 million years, at
24 least 10 million years.

25 Could you give us your perspective on, at least in

1 your thinking, with respect to the UK, about how long should
2 this period of concern be? Should we give equal emphasis to
3 different time periods, and the difficulty of computing these
4 kinds of things, the long time frames.

5 MR. FOLGER: Well, I think the first thing to say is
6 that at the political level, the politicians have made a sort
7 of moral judgment that future generations are just as
8 important as current generations, and that's all to do with
9 this sustainable development principle, which is really
10 coming to bear in the UK. So, in principle, we are looking
11 to protect future generations to the same standards as
12 today's generation, and I think that's why the politicians
13 are saying it's an open-ended commitment.

14 And when you say to them, "Well, you know, how many
15 super novas have we got to model?", and all of this, their
16 eyes glaze over, so the answer to it is a fairly pragmatic
17 one, perhaps, which is that the 10^{-6} target is an aspiration
18 that you have to show you're working for, for all time, and,
19 certainly, there will be, you know, a big upset if everything
20 ran along fine and dandy for 100,000 years, or a million
21 years, and then suddenly shot off to give a very bad outcome.

22 But the regulators, I think, have done quite a good
23 job in their latest consultative document, which I
24 circulated, in recognizing that the kind of proof you can
25 offer, the kind of evidence you can adduce in these different

1 time periods is very different, so we don't think that we
2 would be relying on probabilistic safety assessment numbers
3 in the same way after 100,000 years as we would after the
4 10,000 years, and that beyond a million years, as I think I
5 mentioned, it's recognized that one can start to appeal to
6 natural levels of radioactivity, and how far you're adding to
7 those.

8 So, that's a kind of a fudgy answer, but I think
9 our regulators and politicians have determined to establish
10 the principle that the future matters just as much as today,
11 but recognizing the practical limitations on that.

12 DR. BREWER: Mr. Folger, thank you very, very much. We
13 now are going to move on to our next speaker in the
14 international segment of the program.

15 Our next speaker is Dr. Ju Wang from the People's
16 Republic of China. The Chinese Nuclear Power Program is
17 relatively new and still small, but expanding rapidly. At
18 the Beijing Research Institute of Geology, where Ju Wang is
19 Vice Director, those involved have recently begun a search
20 for a site for a repository to support the Chinese Nuclear
21 Power Program.

22 We understand that the Chinese are considering a
23 potential site in the Gobi Desert that has many similarities
24 to the Yucca Mountain site, including an arid climate, a
25 potentially very deep water table, and seismic activity.

1 Ju Wang is here today to provide us with an update
2 on developments in the Chinese Repository Development
3 Program. With a staff of 19, he's directing the site
4 characterization program. This follows on his work as a
5 member of the coordinating expert group for the deep geologic
6 disposal of high level radioactive waste in China. His
7 background is in geosciences at the undergraduate level, with
8 a Master of Science and a Ph.D. in geochemistry.

9 I want both to welcome Dr. Ju Wang, and also to
10 thank him very much for the courtesies extended to Don
11 Langmuir on a recent trip to China.

12 DR. JU WANG: Thank you, Mr. Chairman.

13 It's my good pleasure to have the opportunity to be
14 here to report the latest progress for China's geological
15 disposal of high level radioactive waste, and I should take
16 this opportunity to express my sincere thanks to the Board
17 members, and also to staff members of the Board, and also
18 special thanks should be given to Ms. Paula Alford for all of
19 her effort for the issue of my visa during the shutdown of
20 the U.S. Embassy in Beijing. Now, back to my topic.

21 I'm the speaker on behalf of my colleagues working
22 for the China National Nuclear Corporation, so we'll talk
23 about deep geological disposal of high level radioactive
24 waste in China, and my talk will be in these parts:

25 At first, the introduction, and also, the

1 organizational structure, and the third will be the DGD
2 Program, means the Deep Geological Disposal Program. The
3 fourth will be the progress in site selection, and the fifth
4 will be the special area for the preselected area that is
5 Beishan Area, Gansu Province, Northwest China, and, also, I
6 will mention some other studies which have been conducted,
7 and the last two are the summary.

8 Now, first, I will have a very brief introduction
9 to my talk. China, as other countries, is also facing the
10 problem of how to safely dispose of the nuclear waste.
11 China's nuclear industry was firstly established in 1955,
12 and, since then, a lot of liquid high level nuclear waste
13 have been stored, and all of them have been stored in the
14 stainless canisters, and they are waiting for vitrification.

15 During the recent years, China has developed the
16 nuclear power plant, and now, on the Chinese mainland, we
17 have two nuclear power plants. The first is in the Guangdong
18 province, southern China. It's called the Daya Bay nuclear
19 power plant, and the second is in the Qinshan nuclear power
20 plant near Shanghai. It's the number one industry city of
21 China.

22 During the next five years, totally, eight reactors
23 will be built, and this first slide shows the location of the
24 nuclear power plant here. This is the Liaoning nuclear power
25 plant, and this will use the reactor from Russia, and, also,

1 this is at Qinshan, and, also, all of the reactor will be
2 built by the Chinese, Chinese engineers. And, also, there is
3 another one from Lin'ao, very close to the Daya Bay nuclear
4 power plant, and also, this maybe we'll build with a
5 corporation with the French scientists.

6 And, as this transparency show you, the total
7 capacity, and, also, the nuclear power plant on the Chinese
8 mainland, and this Qinshan nuclear power plant is still in
9 operation. It works very well, and, also, this is in
10 operation. During the next five-year plan, totally, four new
11 nuclear power plant will be built, and this is the capacity,
12 so a total capacity will reach about 20,000 MW by the year of
13 2010. So much for the introduction.

14 Now, I will talk about the organization,
15 organizational structure for China's Nuclear Waste Program.
16 Now, this table, I'm sure, is the organizational structure.
17 Now, all of the activities related to nuclear industry is
18 managed by the China National Nuclear Corporation. The
19 abbreviation is CNNC, and this is a big corporation. It has
20 about, staff members, over 267 staff members, and all of the
21 nuclear fuel cycle, all of the activity is related--is
22 responsible by this company and for the nuclear waste
23 disposal.

24 Totally, there are four bureaus involved in; that
25 is, the Bureau of Planning, Bureau of Nuclear Fuels, Bureau

1 of Science and Technology, and Bureau of Safety, Protection
2 and Health, and this corporation is supervised by China
3 Environmental Protection Bureau and the China National
4 Nuclear Safety Bureau.

5 Last year, a corporation was built called Everclean
6 Environmental Engineering Corporation. This is a special
7 corporation, is very similar to SKB in Sweden, which is in
8 charge of the site selection, site characterization,
9 repository operation, design, closure and monitoring, but, at
10 present, most of the effort involved are in the low and the
11 intermediate level waste.

12 And then under these four bureaus and the
13 corporation, we have a Coordination Expert Group for the
14 geological disposal of high level waste. At present, this
15 group is in charge of research and development program,
16 siting and the site characterization, repository design,
17 construction, and environmental assessment and some related
18 fields.

19 For the Coordination Expert Group, as we know, the
20 nuclear waste disposal is related to all kinds of scientific
21 things, and nobody can solve this problem by themselves
22 within his research field, so this Coordination Expert Group,
23 the experts come from different institute. The first is the
24 Beijing Research Institute of Geology, which I work for, and
25 the second is the Beijing Institute of Nuclear Engineering.

1 The third is China Institute of Atomic Energy, and the fourth
2 is the China Institute for Radiation Protection. They have
3 different responsibilities.

4 From my institute, we are responsible for site
5 selection, site characterization, for geology, geochemistry,
6 and the nuclide migration. For the Beijing Institute of
7 Nuclear Engineering, they are responsible for the repository
8 design, repository construction, performance assessment. For
9 the China Institute of Atomic Energy, they are responsible
10 for nuclide migration and environmental assessment, and the
11 China Institute for Radiation Protection is responsible for
12 the safety analysis.

13 Now I will talk about the DGD program. In 1985,
14 the China National Nuclear Corporation worked out a program
15 called Deep Geological Disposal Program, and this program is
16 divided into four phases. During the Phase 1, the site
17 selection and site characterization will be done, and during
18 the Phase 2, about 30 years later, it will be then repository
19 design, and Phase 3 will be the repository construction.
20 Phase 4 is the repository operation.

21 And now we are in the first one, and between 1986,
22 we did nationwide screening for the site selection, and
23 during this stage, we have selected five areas for the high
24 level waste repository. Between 1986 and 1988, we selected
25 some district within the five regions we had selected for

1 further studies.

2 Since 1989, most of our efforts have been
3 concentrated on the Northwest China. That means the fifth
4 district we are doing work on.

5 I'll show the site which has been selected. This
6 mark shows the preselected area during the first--between
7 1986 and 1988. This is Southwest China. The second area is
8 Southern China. The fourth is Eastern China, and the third
9 is Inner Mongolia. The fifth is the Northwest Gansu province
10 of China.

11 Considering the rapid economic development along
12 the coast areas, maybe number two and number four will not
13 become selected, because there are a lot of population and a
14 lot of industry, and a very good economical potential, and
15 all efforts have been concentrated in this area.

16 Before I talk about the preselected region, I
17 should talk about the siting criteria for high level waste.
18 That included two factors, socioeconomical factors and the
19 natural factors, and we have considered that the distribution
20 of nuclear industry in China, and the animal, the plant
21 resources, and the potential mineral resources, and, also,
22 the attitude of the public and of the local government, the
23 requirement of national environmental protection laws, and
24 also the feasibility for construction and the operation of
25 the repository.

1 There are a lot of factors, but we have considered
2 that the most important is the distribution of the nuclear
3 industry in China, and also, the economic potential in this
4 country, and, also, the potential mineral and the animal and
5 the plant resources. These are the most important social
6 factors. And then there are natural factors, also; natural
7 geography, including topography, climate, hydrology, and,
8 also, the geology, including crustal stability, earthquakes,
9 active faults, and others, and crustal stress, crustal
10 thermal flow, host rock type, hydrogeology, and engineering
11 geology, and we are at the beginning stage of the site
12 characterization and site selection, so we have considered
13 that crustal stability is a very important factor for the
14 selection. If an area is not stable, of course, we will not
15 consider it.

16 Let me talk about the progress in site selection,
17 which I think I have mentioned about that. Now, during the
18 regional screening, these five regions have been selected,
19 and now we are in the period of district screening. Since
20 1989, all effort has been concentrated in this area.

21 This is a geological map showing the Beishan area,
22 Gansu province. This area has been selected as a potential
23 area, and let me show, this railway connected Zhejiang
24 province, and to the central China, and also to the coastal
25 area of Xingjiang Port. This railway will go to Amsterdam of

1 Holland. This is called the Mainland Breach.

2 Now, this is a corridor area, which is--and north
3 of there, there are some oil in this area here out of this
4 map, and you can see we have selected the granite as a
5 potential host rock for our repository, and this is a
6 geological, this is--and over here there are some granite
7 distributed.

8 In this area, we have selected six districts, one
9 in this granite, called the Yumenzhen area, and, also, this
10 is the Changchum district, and also here, Qianhongquan and
11 Jiujin, and also here. This is another area.

12 The work we have done is to the crustal stability
13 for this area, and, also, we have done something about
14 activity, activation of this big fault, and, fortunately, all
15 of the data is sheer zones, and later, there are some fragile
16 movement, but it seems the quaternary, these faults are lucky
17 enough, they have not fissures to showing the movement of
18 these faults.

19 This map shows the Moho, Monrovich discontinuity
20 iso-depth contour map of the Northwest Gansu Province, and
21 this is the location of our preselected area. This is near
22 Qilian Mountain, which is a very active area, with a lot of
23 earthquakes, and, also, that area is a still uplifting area.

24 Also, there's a regional magnetic anomaly map of
25 Northwest Gansu Province, China, and this is the location of

1 our preselected area.

2 This map shows the distribution of seismic center
3 in Northwest Gansu Province. Now, China has a history of
4 over 2,000 years, you can find some earthquake recording in
5 the historical files, so we have some good historical
6 recording there, recent earthquakes. These are earthquakes
7 larger than seven, but in the selected area, there never have
8 been no earthquake larger than three have happened in that
9 area.

10 This is the seismic zoning of the Northwest Gansu
11 Province, and this is the location of the preselected area,
12 and then this map shows the big earthquakes which have
13 happened during the past 1,000 years.

14 This map shows the regions of neotectonics, and
15 totally, in that area, it can be divided into three parts,
16 and the first part, this part is Qilian Mountain, intensely
17 uplifting region. Now, this area is still a uplifting area,
18 and a lot of active faults are distributed in this area.

19 This is a corridor depression region. This is just
20 a depression area, and, see, this makes transportation, I
21 mean, some railways and the highways go through along this
22 area. Without this depression area, there's no access to the
23 Xingjiang provinces, and this shows the Beishan slightly
24 uplifting region. The uplift rate is about .6 to .8 mm/yr.

25 This map shows the classification of crustal

1 stability of that area, and we are considering that this area
2 is very stable, and this is a sub-stable region, and this is
3 a unstable region, down to the Qilian Mountain areas. And
4 within this stable area, also, according to the distribution
5 of fault, we have classified. This area is divided into
6 several sub-areas for further work.

7 This map shows one of the granite which has been--
8 which some work have been done for this granite. One of the
9 work is the activity of this fault, and also, the integrity
10 of the rocks of this granite, and also, the fissure
11 distribution, and also, the structures in that area.

12 Along this fault, we have done some geophysical
13 investigation, and this is a cross section of delta T by high
14 resolution magnetic survey. This figure shows that existence
15 of the fault, and also, this is a, from this to the right is
16 the distribution of granite, and from this to the left is
17 Pre-Cambrian metamorphic rocks. And also, this map by EMAP
18 survey, shows the existence of the fault here and here. From
19 this over, the area is granite.

20 Now, let me show some slide of this area. Don't
21 you think it's Yucca Mountain? The main shape is very
22 similar to that, and there are no habitations there, and the
23 precipitation is about 6 mm/yr, and, also, the evaporation
24 reaches 3,000 mm/yr, and this shows a fault which has been
25 showed in this way, the fault. And, also, these are

1 metamorphic rocks, and this is the granite.

2 This is the main shape of the granite, good
3 expression of the rocks, and also is, I think is a paradise
4 for the geologists, not for the citizens. And, also, this
5 shows some of the rocks, metamorphic rocks, metamorphic rocks
6 south to the area.

7 This shows a small fault, a small northeast fault
8 within the granite.

9 These are some fissures of the metamorphic rocks
10 along the sheer zone. It's the east/west tracking sheer
11 zone.

12 Fortunately, we have found something funny in the
13 desert, in the Gobi Desert. Sometimes, we can find some
14 flowers there, but these can be eaten, is good for your
15 eating during lunch in the field.

16 Do you want to endure more?

17 (Laughter.)

18 DR. JU WANG: Other studies has been conducted. Except
19 for the site selection and the characterization, we have done
20 some others, also at the very preliminary stage. They are
21 site selection for underground research laboratory. Because
22 of the lack of money, the construction for underground
23 research laboratory has been postponed.

24 Also, some experiment on radionuclide migration,
25 insitu, and also in laboratories; and a study on natural

1 analogies; study on buffer and the backfill materials and
2 their geotechnics; study on the speciation of transuranic
3 elements in solutions; study on heater test; and also, a
4 study on models for safety and environmental assessment.

5 Well, I will come to the last part of my remarks.
6 The safe disposal of high level waste is a worldwide
7 challenging task. Although China has made much progress in
8 this field, still, I think there is a long way to go. For
9 example, a policy act related to nuclear waste disposal
10 should be established. Up to now, we don't have any Nuclear
11 Waste Act established, and, also, a more effective
12 organization should be formed to promote the related work,
13 although we have a expert group, but this group don't have
14 much administration power or responsibility for the--don't
15 have much power to control the money, and the money also
16 changes.

17 And, also, we want to find a way to raise enough
18 money for the safe disposal of nuclear waste. You know, in
19 the cycle of nuclear fuel, nuclear waste disposal is the end
20 of the circle, and, also, because China is developing very,
21 very quickly, all effort has been concentrated on the head of
22 the circle, nuclear power plant, and, also, some of the
23 operators of the nuclear power plant don't want to pay money
24 for the waste.

25 And, also, we have a shortage of world-trained

1 scientists, and, also, we are seeking international
2 cooperation, international effort to help us to train our
3 scientists, to send them abroad and to learn some experience
4 from other countries, and I think the information exchange is
5 very important for the safe disposal of radwaste.

6 China is willing to learn the successful
7 experiences from other countries; for example, United States,
8 United Kingdom, also Sweden. Also, we are willing to
9 strengthen international cooperation, and China is also
10 willing to share its own experiences and achievements with
11 other countries, only for the purpose of protecting the
12 living environment of the human beings, and also protecting
13 the earth, and, also, we are at the beginning stage of high
14 level waste disposal, and, also, I'm sure there are a lot of
15 commercial opportunities, so thank you for your attention,
16 and also, I will be very glad if you have any comment on our
17 program, and any suggestions for our program.

18 Thank you.

19 DR. BREWER: Thank you, Dr. Ju Wang.

20 Are there questions from the Board colleagues? Don
21 Langmuir?

22 DR. LANGMUIR: Ju Wang, when I was over there, we talked
23 about the repository horizons you were considering in this
24 proposed area, and although I think you were introduced as--
25 the statement was made that this is much like Yucca Mountain,

1 my recollection is that we were looking at groundwater
2 analyses from the repository horizon; in other words, that
3 this was, at least at the moment, you were thinking about a
4 saturated zone system in the granites, for a variety of
5 reasons.

6 Could you support me on that, or disagree with me,
7 or explain what your thinking is right now in terms of where
8 the repository might be?

9 DR. JU WANG: I think this repository will sure be in
10 the saturated zone, and, also, I haven't caught your meaning
11 of everything. I haven't caught your meaning of other
12 things.

13 DR. LANGMUIR: Well, I can recall the analyses of waters
14 that I was shown that were from the potential repository
15 horizon were saline, and I asked the question, why? You
16 know, we would have all thought--we said, "This is wonderful.
17 You've got a big desert out there. Why don't you stick it
18 in the Gobi Desert?" And I think you gave some reasons why
19 that wasn't appropriate; that it was not easy to get there,
20 the transportation, the ability to maintain and access a
21 repository in the Gobi Desert was not a good option.

22 DR. JU WANG: For transportation, yeah.

23 DR. LANGMUIR: This is what I can recall being told.

24 I didn't quite catch the precipitation amounts that
25 you suggested you had. Was it 60 mm/yr or 6 mm/yr?

1 DR. JU WANG: Oh, let me recall; about 60 mm/yr.

2 DR. LANGMUIR: So, climatically, it's not different, not
3 too different, even drier than Yucca Mountain.

4 DR. JU WANG: Very dry, but we have found some surface
5 water there.

6 DR. LANGMUIR: How deep is the potential repository
7 horizon that you're thinking of?

8 DR. JU WANG: It will be about 500 meters down to the,
9 yeah, the depths will be, and also, the conceptual design
10 will be the shaft tunnel model, and also, the waste will be
11 the vitrified waste after reprocessing.

12 DR. BREWER: Okay. Clarence Allen?

13 DR. ALLEN: Clarence Allen, Board.

14 You said that one of your two most important
15 criteria for locating the site was its relationship to places
16 where nuclear waste was being produced, and, yet, now you
17 have picked as your principal site one that is thousands of
18 miles away, and I was wondering why, although I realize the
19 same question could be asked in this country, with maybe the
20 same answers.

21 DR. JU WANG: In the United States, you have all of your
22 nuclear power plant in the east, and, also, you put your
23 repository in the west, but in China, we have some nuclear
24 facility in the west.

25 DR. LANGMUIR: Isn't the answer related to the fact that

1 you have nuclear test work that was done in China, the
2 nuclear bombs and experimental work with contamination
3 resulting from it is very close to the site you're proposing?

4 DR. JU WANG: That's correct. You mean the nuclear test
5 site is close to this area?

6 DR. LANGMUIR: Yes. Isn't that close to this area?

7 DR. JU WANG: No, no. About--let me calculate, about
8 1,000 or several hundred meters, kilometers from this site.

9 DR. BREWER: Okay. John Cantlon, did you have a
10 question?

11 DR. CANTLON: Yes. Do you have anything equivalent to
12 England's Greenpeace opposition party as your antinuclear
13 community?

14 DR. JU WANG: No. Until now, I haven't heard about
15 that, but some local people, yes. No, the public knows very
16 few about that, but, of course, as the construction goes
17 down, we will have to publish it to let the public know that,
18 but during the People's Congress, you can hear some objection
19 to it, as in for the construction of this repository, of
20 course, we can hear some party who oppose this.

21 DR. BREWER: Don Langmuir's got another question.

22 DR. LANGMUIR: You said something in passing that I
23 thought was intriguing, that you knew for certain, was my
24 implication, that there had been no earthquakes for a
25 thousand years out there. This tells me there's a record

1 somehow, somewhere that's been kept that's at least that old
2 in writing in China. Does this apply to earthquakes and
3 volcanos and all the other potential--Clarence Allen is
4 nodding his head that he knows.

5 DR. JU WANG: And, you know, is there any other
6 geological hazard in that area, you mean recent volcanism, is
7 that your meaning?

8 DR. LANGMUIR: Well, no. I guess the point was that
9 there is evidently a record in China, written record that's
10 fairly exact of past events of this kind.

11 DR. JU WANG: Yes. May Dr. Allen knows that. We have a
12 huge book for the recordings of the total earthquakes.

13 DR. ALLEN: This is Clarence Allen.

14 We know more about some Chinese earthquakes that
15 occurred 2,000 years ago than we know about earthquakes in
16 California in the 1920, 1950 range. The record is truly
17 elite, and this particular area has long been the corridor
18 for this.

19 DR. BREWER: Okay. Other questions from Board or staff?

20 (No audible response.)

21 DR. BREWER: Dr. Ju Wang, thank you very much for a most
22 informative presentation. We appreciate it very much.

23 DR. JU WANG: Thank you very much.

24 DR. BREWER: What I'd like to propose is a very quick
25 break. Everyone get a cup of coffee or do whatever else they

1 have to do. We'll start at four o'clock, promptly.

2 (Whereupon, a brief recess was taken.)

3 DR. BREWER: What I am proposing to do here is to reopen
4 the conversation that was going reasonably well just before
5 lunch--Russ, please join us at the front table--by way of
6 leaving open any kinds of questions from Board colleagues or
7 staff directed to any of the people making presentations, or
8 their surrogates, so, I think I'd like to start, basically,
9 with Russ Dyer, who indicated he wanted to spend a couple of
10 minutes just making general comments, and then we'll take it
11 from there.

12 I'm going to stay here for the purposes of kind of
13 directing traffic. We will do this for about 20 minutes. We
14 have two members of the public who have indicated that they
15 wanted to make statements or ask questions. We'll try to
16 limit that to about five minutes apiece, and, with good
17 planning and a strong hand, we should be finished around
18 4:30, 4:35. That's the plan.

19 Okay, Russ.

20 DR. DYER: Thank you, Dr. Brewer.

21 What I'd like to do--and it's with a certain amount
22 of trepidation here. I may be pouring gasoline on dying
23 embers, but I'd like to address some of Dr. Langmuir's
24 earlier questions and comments.

25 Namely, we were talking about the viability

1 assessment, and there seemed to be--maybe there's a tactical
2 error here by not having the word "science" explicitly listed
3 in the list of things that need to be accomplished for what
4 our definition of the viability assessment is, but implicit
5 in there, under the Total System Performance Assessment, is
6 that there is a credible technical basis that is developed,
7 and, of course, that's where the science program contributes
8 that technical basis.

9 Now, the challenge, of course, is taking the
10 information from the science program, abstracting the
11 relevant and appropriate information out of there to create
12 the models for the performance assessment, and that's going
13 to be a real challenge that we have in front of us.

14 You also asked a question about what the
15 relationship between the TSPA-95 and prioritization in the
16 program is, what we're doing in the way of science. There is
17 a core science program, even under the diminished program
18 that we are currently embarked on. There is a core science
19 program that we are committed to pursue, and it is driven, in
20 large part, by a evolutionary understanding of what's
21 important about the characteristics and processes out at
22 Yucca Mountain.

23 Many of the things, as Dennis said earlier, many of
24 our early ideas and understandings seem to be confirmed.
25 There are some other ideas, some other areas for which we

1 still have uncertainties. Now, are those uncertainties
2 important uncertainties? What are the important
3 uncertainties that we really need to address, that we really
4 need to put our resources on?

5 And, we have used, I think, performance assessment
6 to help us with that. We've been using the waste isolation
7 strategy, at least in its early formative stages, to help us
8 try to understand what is the short list of assumptions and
9 hypotheses that really need to be tested to understand
10 whether or not this is a viable system, and there is
11 absolutely a component of science that must stand behind this
12 thing called the viability assessment.

13 I didn't want to leave you with the, perhaps the
14 impression that there was not any component of science within
15 this thing.

16 DR. BREWER: Okay, Russ, thank you.

17 Start with Ed Cording.

18 DR. CORDING: Yes. Russ, in some discussions, we've
19 heard that it's basically a matter of summarizing what
20 information you have. A lot of information's been collected
21 on the science on the exploration, but I have a feeling that,
22 you know, a strong feeling that there's much more that's
23 being obtained and that's achievable than perhaps you're
24 willing to commit to at the present time, saying that, you
25 know, we will have this other information, but with the sort

1 of progress you're making at this point, and the efficiencies
2 you're achieving, and with some reasonable level of funding
3 that's even a reduced level, but something that, at least, is
4 continuing, it would seem to me that you're in a situation
5 where you're going to obtain a lot more--you could obtain a
6 lot more and there'll be a lot that could support, that is
7 more than, at present, management is willing to commit as
8 part of this viability decision.

9 That's my impression from what I'm seeing. You're
10 almost breaking through to a large amount of information, and
11 no new data.

12 DR. DYER: Yes. Certainly, the rate at which we have
13 been gathering information, say, for the past, oh, six to
14 twelve months has been really impressive. I hope we can keep
15 that up. That may be serendipitous, but one of the critical
16 things that we have to do, of course, is convert all the data
17 into knowledge, and that takes time.

18 We can either spend a lot of resources in acquiring
19 new data, or we can take a very careful look at all the data
20 that we have, use it to refine our state of understanding,
21 and to steer the subsequent program.

22 DR. BREWER: Okay. Clarence Allen?

23 DR. ALLEN: Yeah, Clarence Allen.

24 Do I understand it correctly, then, Russ, that the
25 viability assessment is very, very different from the

1 determination of suitability, or the investment decision? In
2 both of those cases, you made a decision. You made a
3 decision that the site was suitable, or an investment
4 decision.

5 In this case, you're simply setting out a series of
6 milestones that reflect the present economic status of the
7 program that you think will most logically carry it towards
8 the final end here, but at the end of--it's not a decision.
9 It's a series of milestones; am I right?

10 DR. DYER: I don't think it's a decision, unless it
11 results in a negative decision. I mean, it is a series of
12 things that you would do along the way to an ultimate license
13 application. We have a lot of information that we have
14 acquired in the past that has formed the basis for the
15 program as we know it. Now, we laid out a series of things
16 in the program plan. Now we're--the program plan has not
17 been accepted by our sponsors, at least it hasn't been
18 funded, so we put in place this interim program, and it is--
19 it's not quite everything we wanted it to be, but it is
20 certainly, we think, a positive step forward toward where we
21 need to be eventually.

22 DR. BREWER: Any follow-up, Don Langmuir?

23 DR. LANGMUIR: I guess I can take blame for what's going
24 on here a little bit, and I'd like to get back in it again.

25 My short thoughts on this start with, I think

1 you're underselling your own program. That was the feeling I
2 got from the speech this morning that Wes was reading, that
3 Dan wrote, that I think we, as a group, and the Board feel
4 you've done a terrific job getting where you are, especially
5 in the last few years, and that real progress has been made
6 in the program getting to a point where you could, with some
7 confidence, argue that you have a site that, in all
8 probability, could be licensed at some future date, and that
9 you could have some confidence in making that statement.

10 That's what I expected to hear this morning as a
11 kickoff to this session, and I think viability as an approach
12 to '98 is a retrenchment. It's a shortchanging of the
13 program. It's a backing off from where you've really gotten
14 yourselves to, as evidenced by the speeches and the
15 presentations that followed the introduction, and I, you
16 know, I think it wasn't in the flavor of what we were--we
17 enjoyed hearing, and I think learned further about the
18 program today in terms of the various facets that were being
19 accomplished, and the--Jean Younker's statements about the--I
20 forget what you call it--the waste isolation strategy, the
21 dating that's been going on, at depth, which I find is
22 bringing to me some closure on, and some confidence in the
23 site characterization program.

24 For example, a lot of this stuff is really terrific
25 progress. I didn't get the sense that management agreed it

1 was, and I think if you're going to have a program that
2 continues beyond '96, you have to agree it is, and you've got
3 to support your own program, and sell it well, and I didn't
4 see that, and that's, I guess, where I came from this
5 morning.

6 DR. DYER: Okay. Obviously, the technical progress that
7 we've made, I think, has been really great, some of the
8 things you've seen here. We've waited years for some of this
9 information to come out, and now we're beginning to see it,
10 and we haven't seen any big surprises.

11 Remember that when we structured this--and it was
12 done in a real hurry, whenever Congress came back with some
13 information for us--what we put in place was a program that
14 was worth doing, would get us somewhere, and could serve, at
15 that time, we were thinking, well, perhaps this program will
16 not survive, in which case we need, essentially, to go
17 through a--wrap up all the information into a body of
18 knowledge that could be, perhaps, used by somebody else, or
19 as a follow-on project, or it could be used, essentially, to
20 demonstrate what we know and what we don't know, because I
21 think, really, what we're--what we need to demonstrate, what
22 we need to tell Congress is both sides of this, what we do
23 know and what we don't know, and I think we know a lot more
24 than we thought we knew, or were willing to perhaps admit we
25 knew, because we were being very conservative.

1 DR. BREWER: Okay. In the interest of sharing the
2 wealth here, does anyone on the Board have a question for
3 anyone but Russ Dyer? I'm trying to take you off the hook if
4 I can, and, if not, ask him another question.

5 John?

6 DR. CANTLON: Since he's the head honcho, I think he's
7 the right guy to field them.

8 DR. BREWER: Russ, I was trying to be polite.

9 DR. DYER: Thank you, sir.

10 (Laughter.)

11 DR. CANTLON: Let me make an observation, in part, an
12 interpretation of how, at least, I think of the rationale for
13 what has been a kind of a disappointment in the way the
14 Dreyfus and Barnes statements came on to this technically-
15 focused Board.

16 One way to interpret that is that these two
17 statements were essentially political, not technical. It
18 really looked at the fact that Congress lost confidence in a
19 funding pattern that was tied to a technical approach to site
20 characterization and disposal development, and the reason
21 we're disappointed, of course, is that we're not politicians,
22 and we don't always understand the fact that people in charge
23 have to essentially present a political face as well as
24 looking backwards towards the technical and scientific
25 underpinning for their work.

1 So, I could understand it if you didn't want to buy
2 onto that analysis, but, clearly, Congress isn't interested
3 in more science qua science. Congress wants a damned
4 repository quicker and cheaper than the trajectory indicated
5 it was going to be delivered, and the Dreyfus and Barnes
6 statements are essentially an acknowledgment of that.

7 You can either acknowledge that, or we can go on to
8 the next question.

9 DR. BREWER: Russ?

10 DR. DYER: If you read the exchange between Bennett
11 Johnson and the Senator from New Mexico, there's little doubt
12 that that's true, yes, sir.

13 DR. BREWER: Yes, Don Langmuir?

14 DR. LANGMUIR: Just a related comment, tied to John's,
15 that the other thing that it's saying, it sounds like, to me,
16 is that you've resigned yourselves to the Congress's proposal
17 that there will be a, potentially a site for storage on the
18 property at Yucca Mountain, and this may take priority over
19 the repository.

20 I think when you back up, as you have, you're kind
21 of accepting that approach from the Congress, without
22 resisting it, and, also, you're accepting that you're going
23 to have less funding indefinitely if you don't resist and
24 explain why you should resist a site at Yucca Mountain for
25 storage, which is going to take your funds away.

1 DR. DYER: Let me try this again. I guess one way you
2 can structure a program is by figuring out what your budget
3 is, and then figuring out how much you can do. Perhaps a
4 better way would be to figure out what really needs to be
5 done, then fight for those budget dollars, and I think we
6 have gotten down to the point where we are really getting
7 down to what we think are the critical things, and, so far,
8 we still have a viable program. We can still do a lot of
9 things, so, in a way, I'm somewhat encouraged.

10 This is a skinnier program, but it may be, in the
11 end, it may be a better program.

12 DR. BREWER: Okay. Ed Cording, do you want to follow up
13 on that?

14 DR. CORDING: Yes, I'll follow up on that, Russ.

15 You know, several years back, the program was
16 always ramped up, or ramping up to a \$700 million a year
17 number or something like that, and so all the infrastructure
18 and everything was there to support that. And, right now,
19 what you're--what I'm hearing is that you're going to support
20 what you--some say a pessimistic view of the budget, or what
21 you've been told about a decreasing budget. You're going to
22 try to have an infrastructure that can handle that, and you
23 can still get work done, and that you're not going to be
24 ramped up for some potential--you're not ramping up for some
25 potential higher funding level without justification.

1 But my impression would be that you're going to be
2 fighting for a level that allows you to continue that at,
3 say, something like a, you know, some minimum level that you
4 can continue in the future, and have a lean and mean
5 infrastructure that allows you to take advantage of it, and
6 to really obtain information and get results under that
7 funding scenario.

8 Do you think that's what's going to happen?

9 DR. DYER: Sounds good to me. I don't see another
10 workable option.

11 DR. CORDING: But when you look at this viability
12 decision, are you prepared to come up with a viability
13 decision under the reduced, the 250 and reducing funding, the
14 zeroing out of the funding? Are you going to be able to
15 obtain this viability decision with that type of funding, or
16 do you really think you have to have a level-type funding, or
17 if you have a level funding, could you be doing pretty much
18 what you decided to do in the program plan?

19 DR. DYER: Well, we started out assuming a decreasing
20 budget, what you might call a worst case, and we think we
21 have a meaningful program that we could do under that
22 circumstance. Now, it's not a zero risk program. It's not a
23 program that resolves all questions, and it's not designed to
24 be. There will still be some outstanding questions at the
25 end of that program.

1 If more resources are available, perhaps the suite
2 of unanswered questions at the end of it is somewhat to
3 considerably smaller.

4 Wouldn't somebody else like to share some of the
5 fun here?

6 DR. BREWER: Anyone else like to follow up with one or
7 two more questions? Don?

8 DR. LANGMUIR: I guess I would plead for a redefinition
9 of viability. You could make a viability decision almost
10 now, and you could take what you've done on design, and you
11 could take what you've done on cost estimates, and you could
12 say, "Well, I know what I know about the science without
13 pulling anymore together, and I can make a viable decision
14 today." That would be a very cynical thing, I think, to do,
15 given all the energy and effort that's gone into this program
16 so far.

17 I'd like to see you put change, at least probable
18 behavior repository in the verbiage there into a probable
19 ability to isolate waste as a goal in '98. I mean, that
20 would be, at least, a concrete product which would follow all
21 that's been done before, and all the expenditure and energy
22 that's been put into this program. This is a very
23 pessimistic goal, in my view.

24 I hope you don't go to Congress and present this as
25 the way the program is going to get in three years, because

1 you won't get to '97, I don't think, if you do.

2 DR. BREWER: That's not exactly a question.

3 Anything else? Yes, Pat Domenico.

4 DR. DOMENICO: I have a technical question. It should
5 be addressed to Dennis Williams, but I think he's probably
6 gone, and maybe--

7 DR. BREWER: Russ is here.

8 DR. DOMENICO: I've been to WIPP, like almost everybody.
9 I've seen the water on the walls, and I presume I would see
10 more if the ventilation system failed there. Alcoves are not
11 that difficult. Are you planning any place to develop an
12 alcove, instrument it, isolate it from the ventilation
13 system, and observe? Is that anywhere in anybody's plans?

14 DR. BREWER: This is the other Russ. This is Russ
15 Patterson.

16 DR. DOMENICO: Patterson, yes.

17 MR. PATTERSON: Yes. Actually, we have some work going
18 on in some of the alcoves this year. We've developed a study
19 that we're calling ESF moisture, and we're doing some of the
20 same sort of measurements that Nye County started doing as
21 far as putting a temperature, moisture, humidity probe on the
22 tunnel-boring machine. We're also doing that throughout the
23 ESF.

24 We've also, as I think Dennis alluded to earlier
25 this morning, we closed off one of the alcoves and saw, of

1 course, that the humidity rose very rapidly, and we've had
2 some discussions about trying to do a test where we would
3 close off an alcove completely and take humidity
4 measurements, and look at that.

5 We're also--Alan Flint has been taking some
6 samples, some core samples in the site of the ESF to a
7 distance and taking those samples to try and figure out what
8 moisture is within the rock, and we're trying to figure out
9 how much the ventilation is taking out of the ESF, and I
10 think we have some numbers on that, and perhaps--I don't
11 think there's anyone out there that can help me with that
12 right now.

13 DR. LANGMUIR: I could help you with it.

14 MR. PATTERSON: Do you have--

15 DR. LANGMUIR: At least a rumor has it that from 5,000
16 to 10,000 gallons a day are leaving in the ventilation
17 system.

18 MR. PATTERSON: That's what I was--yes, that's about
19 what I heard, too, but I wanted to get a more exact number if
20 we could, but that's about right, and so, I think we are
21 looking at that, and that is something that we need to
22 address and will be addressing.

23 DR. DOMENICO: Well, I don't know if you equate that to
24 a flux or not, probably not, because you've got water in
25 storage there, but then sometime in the future, we may get

1 some idea just on how much water is entering that tunnel, and
2 how it, more importantly, might be varying with time.

3 MR. PATTERSON: That's right.

4 DR. DOMENICO: Under really controlled testing, because
5 it seems like, to me, now a very critical question that's--
6 the answer to which is open to you now. I mean, you can go
7 after it now.

8 MR. PATTERSON: Yes. I want to second a few things that
9 Russ said that, as long as I've got the opportunity, that I
10 think we've made great strides in the last year in getting to
11 where we can start to answer some of the technical questions
12 that we need to answer, and we are still making progress
13 toward answering some of those questions, even under the
14 reduced funding, and I don't think it's quite as bleak as
15 possibly the picture was painted this morning, so I just
16 wanted to add that.

17 And flux rates, I believe, is one of the areas that
18 we're looking at pretty heavily, and it matches with our
19 waste isolation strategy, so it's something that we need to
20 be looking at and putting great effort into.

21 DR. BREWER: Jean Younker wants to follow up.

22 DR. YOUNKER: It's kind of a follow-up, but it's also
23 getting back to Don Langmuir's comment.

24 One of the things I don't think we've been clear on
25 today, although I think it kind of was between the lines, is

1 that along with that referenced design that Dr. Dreyfus keeps
2 repeating is one of the major elements of his underpinnings
3 for his viability assessment, there is to be a performance
4 assessment of that design that shows how well that design
5 will perform, using the best available information for the
6 site.

7 So, I would expect that--and I know our contingency
8 planning certainly is aiming at, in the '97 time frame, doing
9 an update to TSPA-95, at least elements of it that we can,
10 and improving upon that, so I think there was never any
11 intention, although maybe it sounded that way, to not have a
12 strong performance assessment component to the viability
13 assessment basis.

14 DR. LANGMUIR: I guess I'd like to see an expansion of
15 that definition which includes all of these things that we
16 expected to hear, and which were missing from the verbiage.
17 I guess that's the problem.

18 DR. BREWER: Okay. Ed Cording.

19 DR. CORDING: I had one question on the waste isolation
20 strategy in terms of you're in the process of completing that
21 now, and what sort of schedule do you have on that in terms
22 of it becoming a policy, or a guideline? Just what is the
23 intent on that?

24 DR. BREWER: Jean?

25 DR. YOUNKER: I have an impression that this is probably

1 one that Steve Brocoum should handle.

2 MR. BROCOUM: Steve Brocoum, DOE.

3 Our original intent was to issue the document after
4 the DOE review was completed, which will be completed next
5 week, but you heard Mr. Barnes this morning talk about the
6 contingency planning, and the contingency planning team has
7 requested that we delay issuing any policy documents until
8 the contingency planning has had a chance to assess, for
9 example, the waste isolation strategy, just to make sure that
10 whatever they come up with is not in conflict, if you like,
11 or if there are conflicts between what they're working on and
12 the waste isolation strategy, they'd be resolved before the
13 document was issued.

14 The DOE is not issuing a document next week, for
15 example, and then a month or two later, say, "Oh, we have a
16 new contingency plan that we're going to implement," and
17 we'll be out of synch, so that document will be held up
18 pending that review.

19 DR. CORDING: Steve, what type of group is evaluating
20 the contingency plan? Is it regarding scientific testing
21 programs?

22 MR. BROCOUM: The contingency planning is evaluating all
23 the issues that have been swirling around this table for the
24 last half hour. It is looking at what more can we do, can we
25 do more than a viability assessment? What schedules can we

1 do on that? But that effort has recently started, and is
2 underway right now. We have set up a steering committee and
3 a working group under Jane Summerson to do that work, and
4 that work is being presented to Wes Barnes, who will then
5 present it to Dan. Dan has allowed us to undertake
6 contingency planning, but he has not allowed us to implement
7 any of the ideas, if you like, or the issues that they've
8 brought up.

9 DR. BREWER: Okay. Thanks, Steve.

10 Yes. Jerry Cohon of the Board.

11 DR. COHON: Virtually all of the talk about budget and
12 viability and what the latter means has focused on Congress,
13 and for good reason. However, I think that we may be
14 entering a period here where DOE may face a real problem in
15 terms of keeping confidence from the public, putting aside
16 Congress.

17 You run the risk of putting yourself in a position
18 where a member of the public, who's followed all this, would
19 be tempted to conclude that a repository, the definition of a
20 viable repository is, as suitable as it may be in 1998, given
21 whatever money has been able to be devoted to the study
22 between now and that year, I mean, there have been elements
23 to this in what some of you have said that recognizes that
24 risk; that is, you can't have something that's triggered
25 entirely by the money that's available.

1 But, I think you really have to pay attention to
2 how this is going to be communicated to people other than
3 Congress, especially given the kind of funding history we've
4 had up to now. How do you maintain credibility when you,
5 presumably hypothetically, make an announcement two years
6 from now, or the Secretary does, "This site is viable. We
7 should go ahead." You have some explaining to do.

8 That's something--I don't know how you respond to
9 that if you want to. I'm not asking you to, I'm just making
10 a comment.

11 DR. BREWER: If anyone cares to respond, please do.

12 DR. DYER: I'll give it a try, because it's a very real
13 topic that we've talked about. There is a, certainly, an
14 issue of credibility here. There is an issue of confidence.
15 How do you retain or build both of those? And I don't have
16 a good answer for you, not at this time, but it's something
17 that we're trying to negotiate our way through right now.

18 DR. COHON: Having made the point, let me offer my own
19 advice. I happen to think that the progress you made with
20 TSPA is, in and of itself, very promising, and it's also
21 something that you could hang this case on; that is, two
22 years from now, you might have something really very cogent
23 and credible to say because of your ability to do total
24 system performance assessment.

25 I think that's the key, but as much progress as

1 you've made, there's also no question that you've got to make
2 more for that to be the foundation.

3 DR. BREWER: Russ?

4 DR. DYER: You're absolutely right. This thing in '98
5 is centered around a total system performance assessment.

6 DR. BREWER: This is the other Russ, Russ Patterson.

7 MR. PATTERSON: I'll add one thing. I think one of the
8 things that's kind of hidden in the definition of the
9 viability assessment or decision, whatever you want to call
10 it, is the TSPA part, and all the science that goes into that
11 TSPA, because I believe the next TSPA, which I believe is
12 called TSPA-97, which will actually be in '98, will look much
13 different than the last TSPA, because--and my areas of
14 hydrology and geochemistry will have much different flow
15 models and transport models than what we had, and we're using
16 them for that one.

17 So, I believe there's a lot more science that'll be
18 going into those. We're synthesizing a lot of things now,
19 and a lot more data that will go into the TSPA, so that TSPA
20 actually should be a better product than the last one.

21 DR. BREWER: Jerry Cohon.

22 DR. COHON: Just to emphasize a point, and these models
23 will be different because of the data you're getting now,
24 because of the ESF, and, I mean, that's such an important
25 point to make, and to emphasize that and clarify it so that

1 members of the public and members of Congress can see how the
2 pieces fit together. I think that is the most hopeful and
3 powerful thing you have to say.

4 The reason you have a hope of pulling this off is
5 because the pieces really are fitting together, whereas,
6 before, they were all disparate, and not at all connected.
7 But, now, with the progress in TSPA, because you've got the
8 tunnel drilled, that you can see things and you're getting
9 data, things really do gel, so it's a much more hopeful and
10 positive message than the one we started with.

11 DR. BREWER: Okay. Anyone care to comment, respond?
12 Additional questions from the Board?

13 (No audible response.)

14 DR. BREWER: If not, I will end this particular part of
15 the question and answer session, and now turn it over to the
16 two members of the public who have signed up. I would like
17 to enforce a five-minute rule, and I think that's adequate
18 time to say what's on your mind.

19 Our first member of the public is Tom McGowan, a
20 regular who has spoken to the group on many occasions in the
21 past. Mr. McGowan, if you would take one of the microphones
22 here, and if there is an organization or institutional
23 affiliation, please let us know. Five minutes, sir, if you
24 would.

25 MR. MCGOWAN: Thank you. It's been rumored that I'm

1 affiliated with the American public. The headquarters are
2 unknown.

3 DR. BREWER: That's not bad. That's a good start.

4 MR. MCGOWAN: Thank you, sir, and how much time do I
5 have left, incidentally?

6 DR. BREWER: Four minutes and 56 seconds.

7 MR. MCGOWAN: Got that. I'll be succinct, whatever that
8 is.

9 Honorable Mr. Chairman, esteemed members of the
10 committee, foreign guests and meeting attendees, my name is
11 Tom McGowan. I'm an individual member of the public,
12 residing in Las Vegas, Nevada.

13 The TBYMS study committee's report on findings and
14 recommendations raises more questions than it provides
15 answers, and avoids exercise by the NAS of its
16 Congressionally-mandated discretionary authority and
17 responsibility over U.S. policy issues in the genuine best
18 public interest, but, instead, relegates that authority and
19 responsibility exclusively to the EPA and the U.S. NRC, and I
20 believe the words on the public record at that point of
21 transference were something to the effect of, "Hot potato in
22 your lap."

23 At this juncture, the entire nuclear waste issue is
24 complex as -- to context is the singular, fundamental, crux
25 issue question of the prospect for the attainment of the

1 degree of political and public acceptance requisite to
2 surmount the barriers of unresolved uncertainties,
3 complexities, and deficiencies which, combined, define the
4 TBYMS study committee's report, as well as the subject topic
5 of its study, the Yucca Mountain repository initiative and
6 site characterization study requisite to the establishment of
7 exposure risk standards, regulatory compliance standards, and
8 therein, suitability licensing, as a time and budgetarily-
9 constrained guesstimate of an approximation, set within a
10 limited, finite, micro-increment of a vastly greater
11 dimensional domain, naturally ordered as in a state of
12 variable dynamic flux, and during all of the geologic time
13 scale continuum.

14 Thereas, two diametrically counterpoised
15 alternatives, scenarios, pertain and will persist pending
16 definitive selection and conclusive address and resolution in
17 a timely and assured, effective manner.

18 With regard to the first alternative scenario, as
19 currently configured and constrained, the Yucca Mountain
20 repository program--and, incidentally, I'll interject
21 something. I wish to frankly and sincerely commend everybody
22 concerned with that effort. I'm talking about DOE, Steve
23 Brocoum, Wesley Barnes, everybody. These guys are good
24 soldiers. I may not be right there rooting with you and, you
25 know, helping you along. I don't think you need me as a

1 crutch. You're quite articulate. You have done a hell of a
2 job with virtually not enough to work with. That still don't
3 make you right, but I've always believed in a level playing
4 field.

5 Incidentally, Dr. Cantlon, nice to see you're back.
6 Don't bother. Where was I?

7 Oh, as configured and constrained, the Yucca
8 Mountain repository program will not achieve political and
9 public acceptance, requisite with respect to operations,
10 inclusive of construction, transport, emplacement, closure,
11 and post-closure activities except and solely via the
12 establishment of exposure risk standards by the EPA and of
13 compliance regulations by the U.S. NRC under color of law,
14 and virtually via government by fiat, which is a form of
15 dictatorship, and, thereas, unacceptable in this particular
16 nation, still.

17 Clearly, as duly noted by the NASTBYMS study
18 committee, neither the EPA nor the U.S. NRC could conceivably
19 hope to discharge their mandated responsibilities within the
20 limited time allotted, and particularly not with any
21 substantial assurance of a reasonably unconstrained open,
22 public discussion process, as recommended by the NAS
23 committee, and, particularly, also not if it snows, and for
24 your assurance, I'm told that we also have a flake in the
25 White House, why bother about the snow? Didn't mean that,

1 sir.

2 As, clearly, the public tends to be more so
3 reactive than proactive, and rather than being responsive to
4 objectivity and logic, instead is more so subjective and
5 emotional, hence, the public perception of risk is more
6 closely understood and addressed as the perception of
7 perception, rather than a risk or the perception of it.

8 The peril inherent in the current aggressive, but
9 appreciably constrained paradigm resides in the potential
10 instance that wherein political and public acceptance,
11 ultimately, is unattainable, then that probably could cost
12 the entire program to date, inclusive of time, budgetary and
13 other resources, is also and perhaps more so unacceptable,
14 since it is both tangible and unretrievable, rather than
15 projected and avoidable.

16 In the second and preferred alternative--got to be
17 a Shetland pony in here somewhere--enthusiastic political and
18 public acceptance is ensured, readily attainable, but not via
19 persistence in the current and projected paradigm.

20 Finally, and as an element of the preferred
21 alternative, ensured effective obviation of human intrusion,
22 in entirety and in perpetuity, is also readily attainable,
23 but, again, not via the current and projected paradigm, but
24 reliance upon any combination of natural and engineered
25 barriers, and traditional post-closure monitoring activities.

1 Wonder what he's talking about, folks?

2 In postlude, it is reassuring to note that the
3 Congress has directed the EPA and the U.S. NRC, et al., to
4 assume that human civilization will continue to exist--that's
5 page 143, I think--throughout the distant future,
6 notwithstanding the absence of any reference whatsoever to
7 the conceivability of a Supreme Being and Creator of the
8 entire universe, everything in it, including the Congress of
9 the United States, the NAS, and human civilization, or
10 something in one sense or another similar to it.

11 You have my sincere sympathy, because I think
12 you're at a stage now, we're at a very important juncture.
13 We need to decide, in the words of the artist, Paul Gauguin,
14 who are we? Why are we here? Where are we going? That's
15 the question. It's not a nuclear issue at all. It's an
16 issue related very intensely to our innate human nature.

17 DR. BREWER: Mr. McGowan, that's--

18 MR. MCGOWAN: If you know something is right, you
19 proceed with it. How much time?

20 DR. BREWER: You have none. This is five minutes.

21 MR. MCGOWAN: I beg your pardon, sir. Thank you so
22 much. What was your name again? Anyhow, we have your name.

23 DR. BREWER: Thank you very much, Mr. McGowan, and for
24 your five minutes.

25 The second member of the public who has indicated

1 they'd like to speak is Parvis Montazer, representing Nye
2 County, and if there are other organizations you represent,
3 sir, would you please say so?

4 MR. MONTAZER: I am Parvis Montazer, consultant to Nye
5 County. I just have some technical comments and questions
6 regarding this morning's presentation.

7 DR. BREWER: Thank you very much for having technical
8 questions and comments, yes.

9 MR. MONTAZER: First, I'd like to compliment everyone
10 for the presentation. That was an excellent presentation in
11 a short time. There were a lot of information that I hadn't
12 heard before that was enlightening.

13 The main question that I have is regarding the age
14 dating on the fracture filling, and since this is the first
15 time that I've seen this data, I'm not quite sure how these
16 samples were collected, et cetera, so my comment may be a
17 little bit ignorant, but the way I see these, or I've been
18 taught these fracture fillings occur is with times over
19 hundreds of thousands of years, or millions of years, layer-
20 by-layer, millimeter-by-millimeter, basically grow, and when
21 we take these samples, we're averaging a layer that may be--
22 or sampling a layer that may be 100,000 years old or a layer
23 that may be 5,000 years old.

24 We have gaseous-phased data which, at least it's
25 our concept that it's somewhat in equilibrium with the

1 fracture filling that show our Carbon-14 activities are much
2 more recent than 100,000 to 200,000-year range that was
3 presented this morning. This Carbon-14 activity mainly comes
4 from what I know from UZ-1 and some of the other boreholes, a
5 gas sampling that has been going on by U.S. Geological Survey
6 for quite some time.

7 Therefore, I believe that the gaseous phase, at
8 least in Topopah, may be more representative of the latest
9 recharge, and the age of the--the recharge, rather than the
10 whole fracture filling age.

11 The problem that we have is that in the Topopah
12 Spring, because of the tunnel right now, the entire pneumatic
13 conditions are disturbed from the data when we look at some
14 of our most recent data collected on a pneumatic responsive
15 zone of the boreholes. It's my initial perception that all
16 of the boreholes seem to be responding, at least in the
17 Topopah Spring, to the barometric fluctuation in the tunnel.

18 So, my concern is that have we really disturbed the
19 Topopah Spring to the point that we cannot get gaseous
20 chemistry anymore? Is C-14 and tritium dating basically out
21 of the question in Topopah Spring? And, you know, if that's
22 so, how are we going to really verify these models as far as
23 the infiltration and percolation, et cetera, are concerned?

24 A quick comment on the humidity regarding the waste
25 package is I believe--and I've made these comments before to

1 the original author, Dr. Buscheck, of Lawrence Livermore--
2 humidity is a misleading indicator in this condition in the
3 repository sense, and I think the project should change this
4 to another well, I should say, a comparable, comparative
5 number, and, basically, humidity of 10 per cent at 100
6 degrees C can have five to ten times more moisture content
7 than a 100 per cent humidity at 20 degrees C. Therefore, I
8 can't see why we are concluding that the lower humidity, we
9 have less corrosion. At what temperature; under what
10 conditions?

11 And I think the project needs to look at the
12 actual--all the other components that are involved in there,
13 and I know that the scientists are looking at it, but the way
14 you come across in these presentations, it doesn't--it sounds
15 misleading.

16 DR. BREWER: You have about one minute, sir.

17 MR. MONTAZER: Okay. One quick thing is, is it my
18 understanding that the thermal test room is going to be drill
19 and blasted? I think I heard that. If that's so, why is it?

20 Isn't that kind of contradict the fact that we're putting a
21 tunnel, with a tunnel-boring machine, and we're going to be
22 testing the--thermal testing in a...

23 DR. BREWER: Okay. If I was listening correctly, there
24 was a statement with some general questions that may or may
25 not be able to be answered. The final statement was a

1 question, and I'd like to address anyone on DOE who can
2 provide an answer, and this has to do with the thermal
3 testing alcove.

4 MR. REPLOGLE: Jim Replogle. I'm standing in for Rick
5 Craun.

6 We, this weekend, will be testing the road header
7 to determine if that, in fact, can do the excavation in that
8 area, and if you'll stay tuned in, I'll give you the answer
9 Monday on how we're going to do that. We don't have an
10 answer at this point. We hope to be able to do it with the
11 road header that we're moving in this weekend for a test.

12 DR. BREWER: Don Langmuir?

13 DR. LANGMUIR: I'd like to seek an answer to Parvis's
14 first question. I think there are people in the audience
15 from the USGS who have either sampled the fracture fillings,
16 or at least are aware of the age dating. I think John
17 Stuckless back there has talked about some of this with us
18 earlier in the day in his answers to questions.

19 Could someone address the uncertainties that are
20 apparently inherent in analyzing fracture fillings as we've
21 been looking at them so far in the ESF? Maybe John.

22 DR. BREWER: Would you please identify yourself, and the
23 institution?

24 MR. STUCKLESS: John Stuckless, USGS.

25 Unlike the engineers, we are not going to have an

1 answer by Saturday night. The dating that is going on is
2 projected to have answers by the end of February, just as a
3 start, so what you saw today is very preliminary information.

4 The second thing is that what they have attempted
5 to do is to get the outermost layers, which probably still
6 represent some sort of an averaging. Another problem we've
7 run into is that the lithophysae, lithophysal cavities that
8 have been sampled have multiple generations of calcite and
9 opal in them. Some of it appears to be a paulopost-type
10 deposition. Some of them appear to have a floor of the
11 cavity only, with modern Pleistocene-type deposits on it.

12 We do know that we have multiple generations. We
13 do know that some of our samples definitely represent
14 averages of a few bands. The significant part of all of
15 this, though, is the very that if they were very much modern
16 material in there, we would see average ages that were much
17 younger than the 90,000 years. The dominant age that's
18 coming out of these things at the moment is around 250,000
19 years. If that's one end member for water moving through
20 here, to be able to pull it down only to 90,000 years
21 suggests that in the last recent past, polocene, very little
22 water has gone through there.

23 Parvis also mentioned the problem, potential
24 problem of a gas-phased transfer. This is certainly a very
25 real thing, but it does not affect the uranium series dating.

1 Neither uranium nor thorium move in a gaseous phase at the
2 type of temperatures that we're looking at in the potential
3 repository horizon, so we do have Carbon-14 dates--and I
4 think people are aware that we've published them--that have
5 modern carbon in some of these fracture coatings. That's
6 only from the drill cores.

7 It is not totally clear that some of that isn't
8 possibly contamination from--it's also all G-1, which was
9 drilled wet, and had an awful lot of organics dropped down it
10 in order to try to keep circulation, so it's not clear that
11 those ages are reliable. We are redoing that in the ESF, and
12 this time we're going to make an effort to make sure we don't
13 have any modern contamination of the samples.

14 Carbon-14 can, in fact, analyze only that very last
15 layer that was deposited. By accelerator mass spec methods,
16 we get by with very, very small amounts of material, but,
17 anyway, all of this, hopefully, by the time this Board
18 reconvenes, will be completed in the repository horizon in
19 the ESF.

20 DR. BREWER: Yes. We look forward to hearing about it.

21 Thank you very much, John.

22 I'm going to take the prerogative of the Chair,
23 because we're now at five minutes to five, and call this
24 meeting adjourned.

25 I want very much to thank everyone who participated

1 on a very ad hoc basis because of the scheduling problems
2 that we've had. I think we had a good and full and
3 productive meeting. We're adjourned until eight-thirty
4 tomorrow morning.

5 (Whereupon, at 4:55 p.m., the meeting was adjourned
6 until 8:30 a.m. on January 11, 1996.)

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1