

UNITED STATES
NUCLEAR WASTE TECHNICAL REVIEW BOARD

Summer Board Meeting
Exploration and Testing Activities
Past and Future Climates and Hydrology at Yucca Mountain

Red Lion Hotel
Denver, Colorado
July 10, 1996

BOARD MEMBERS PRESENT

Dr. John E. Cantlon, Chairman, NWTRB
Mr. John W. Arendt
Dr. Garry D. Brewer, Round-Table Moderator
Dr. Jared L. Cohon
Dr. Edward J. Cording
Dr. Donald Langmuir
Dr. John McKetta
Dr. Jeffrey J. Wong

CONSULTANTS

Dr. Patrick Domenico, Session Chair
Dr. Ellis D. Verink
Dr. Richard Grundy
Dr. Richard Parizek

SENIOR PROFESSIONAL STAFF

Dr. Carl Di Bella
Dr. Sherwood Chu
Dr. Daniel Fehringer
Mr. Russell McFarland
Dr. Daniel Metlay
Dr. Victor Palciauskas
Dr. Leon Reiter

NWTRB STAFF

Dr. William D. Barnard, Executive Director, NWTRB
Mr. Michael Carrol, Director of Administration
Ms. Nancy Derr, Director of Publications
Ms. Paula Alford, Director of External Affairs
Mr. Frank Randall, Assistant, External Affairs
Ms. Karyn Severson, Congressional Liaison
Ms. Helen Einersen, Executive Assistant
Ms. Linda Hiatt, Management Assistant

I N D E X

	<u>PAGE NO.</u>
Reconvene	
Patrick Domenico.	281
Perspective on Paleoclimate	
Ike Winograd.	282
Paleoclimate records: Implications for future climate change	
Rick Forester, USGS	311
Perspective on Paleohydrology	
Stanley Davis, University of Arizona.	337
Paleohydrology: Age control from uranium series and Carbon-14 dating of calcite and opal in the ESF	
Zell Peterman, USGS	355
Paleohydrology: Hydrologic flow paths and rates inferred from the distribution of Chlorine-36 in the ESF	
June Fabryka-Martin	378
Andrew Wolfsberg.	389
Los Alamos National Laboratory	
Perspective on climate modeling: uses and limitations	
Tom Wigley, NCAR.	410
(National Center for Atmospheric Research)	
Future climate modeling	
Starley Thompson, NCAR.	429
TSPA insights into the impacts of climate and Chlorine-36	
Michael Wilson, Sandia National Laboratories. . .	449
Wrap-up of climate and paleohydrology	
Sheryl Morris, DOE.	472
Round-table discussion on climate and hydrology	
Moderator: Garry Brewer, NWTRB	476
Closing remarks/Adjournment	
John Cantlon, Chair, NWTRB.	530

1 P R O C E E D I N G S

2 DR. DOMENICO: Good morning. Can we take our seats,
3 please?

4 Welcome to the second day of the summer meeting of
5 the Nuclear Waste Technical Review Board, and we're going to
6 start off today with Ike Winograd, with his presentation on
7 the paleoclimate, particularly, his work at Devils Hole in
8 the Amargosa Desert, and the implications for Yucca Mountain.

9 Rick Forester of USGS will follow with a
10 description and analysis of work being conducted by the
11 project on paleoclimate.

12 We will then make a switch to paleohydrology,
13 particularly, the isotope studies in the ESF. Stan Davis
14 will start that section with his presentation on that issue,
15 followed by Zell Peterman and Jim Paces of the USGS, who will
16 update us on the isotope studies of calcite and opal fracture
17 coatings in the ESF.

18 June Fabryka-Martin of Los Alamos National Lab will
19 then present the latest results of interpretations of
20 chlorine-36 studies she's conducting in the ESF.

21 After lunch, we will launch into a discussion of
22 future climate modeling. Tom Wigley will offer us his
23 perspective on the uses and limitations of climate modeling,
24 followed by Starley Thompson of the National Center for

1 Atmospheric Research, who will update us on modeling studies,
2 the studies of future climate at Yucca Mountain.

3 We will end the session with a presentation by Mike
4 Wilson of Sandia National Lab, who will help us understand
5 the significance of all this information with respect to
6 repository performance, and a wrap-up by Sheryl Morris of the
7 DOE.

8 Following that last presentation, we will have a
9 round-table discussion devoted to climate and hydrology, but
10 you will hear more about that later from Garry Brewer, who
11 will serve as a moderator.

12 As usual, at the end of the day, there will be time
13 for questions and comments from the audience, so, with that,
14 I'll turn it over to Ike.

15 MR. WINOGRAD: Good morning.

16 Being the leadoff speaker in this morning's
17 paleoclimate session, I want to take a few minutes to
18 introduce the Panel to this relatively young field of
19 endeavor. Although earth scientists have pondered the
20 causation of the ice ages for nearly 150 years, such studies
21 have grown exponentially in the past twenty or so years.

22 When I first started working in this field, about a
23 dozen years ago, one of the leading journals,
24 Paleoceanography, did not exist, and two other leading
25 journals in this field were less than a decade old. Today,

1 paleoclimatology is recognized as a major branch of earth
2 science.

3 Because of the explosive growth of activity in this
4 field, data is pouring in, and major surprises have appeared
5 in a period of a few years. To illustrate the dynamic nature
6 of this field, I begin by citing several major new findings
7 that have come to light just in the past four years.

8 Many of you will recognize this plot as the SPECMAP
9 marine oxygen 18 fluctuations in global ice volume during the
10 past 600,000 years. For those of you who are not familiar
11 with this plot, the major peaks on this time series represent
12 interglaciations, and the deepest troughs, glaciations, with
13 approximately 100,000 years separating each cycle. Let's
14 look at a blowup of the last 200,000 years of this ice-volume
15 record.

16 For the past 40 years, the picture we have had from
17 this time series and from its predecessors has been of a
18 relatively rapid deglaciation which occurred within 10,000
19 years, followed by a slow build-up of ice over tens of
20 thousands of years, culminating in the full glacial climates
21 about 18-20,000 years ago.

22 However, just four years ago, we learned that the
23 actual picture for the past 80,000 years is considerably
24 different. Major shifts in temperature, and possibly, also,
25 in ice volume occurred between 80,000 and 10,000 years ago.

1 In this slide, we show the oxygen 18 from one of
2 the two now famous ice cores obtained from Summit, Greenland
3 in the early 1990s. The oxygen 18 in this time series is a
4 proxy for temperature.

5 The thing to note throughout the period 80-10 ka is
6 that the fluctuations in oxygen 18; that is, in temperature,
7 are equal in magnitude to two-thirds of the eventual change
8 that occurred between full glacial and the Holocene values.

9 Similar shifts have since been looked for and found
10 in high resolution marine records from the mid- to high
11 latitudes of the Atlantic Ocean. The smooth buildup in ice
12 volume indicated by SPECMAP, the marine oxygen 18 standard
13 that you saw in the previous slide, gave no indication of
14 these rapid shifts in climate.

15 Major New Finding No. 2. Work by Kurt Cuffey and
16 colleagues, published earlier this year in Science, has shown
17 that the full glacial to interglacial temperature shift in
18 central Greenland was 16° C, or twice the previous estimate,
19 an estimate that went back about twenty years.

20 Major New Finding No. 3. The monumental CLIMAP
21 Project study of oceanic temperatures during the last glacial
22 maximum indicated that tropical and subtropical ocean
23 temperatures either did not change, or perhaps were, at most,
24 two degrees cooler than modern temperatures. However, a
25 bunch of new data is suggesting that the oceans in these

1 latitudes may have cooled as much as 5°C.

2 Major New Finding No. 4. Until the last issue of
3 Science, it was accepted that about three-quarters of the
4 oxygen 18 fluctuation in the marine record that you saw
5 represented fluctuations in ice volume, with the remainder
6 representing temperature. Strong evidence just published
7 indicates that almost half of the fluctuation of this time
8 series reflects not ice volume, but water temperature.

9 If time permitted, I could cite still two other
10 major surprises. I cite these new developments not to knock
11 the field of paleoclimatology, which I consider to be one of
12 the most exciting in science, and which I feel privileged to
13 be participating in. Rather, I do so in order to alert you
14 to consider much of what you hear today, including
15 pronouncements by Winograd, as tentative, at best.

16 Knowledge in the field of paleoclimatology is, at
17 the moment, diverging, not converging. In the words of David
18 Rind, a highly-respected climate modeler, "In this business,
19 observations drive theory."

20 You will be hearing a lot today from me and others
21 about paleoclimate inferences made from various proxy
22 records, including proxies of global ice volume, sea surface
23 temperature, land air temperature, paleo-plant life, water
24 table elevation, effective moisture, et cetera. A few
25 caveats about such records may be helpful to the Panel.

1 A proxy is just what the dictionary says:
2 "Something serving to replace another thing; a substitute
3 for," but I will add, not an exact copy of the object of
4 interest. Keep in mind that some of the proxies you will
5 hear discussed today may be recording--probably are
6 recording--more than one climate parameter, and that these
7 proxies incorporate, in varying degrees, local, regional, and
8 global climate.

9 For example, as I just mentioned, the global ice
10 volume curve we looked at, SPECMAP, which is obtained from
11 the oxygen 18 of foraminifera, records not only ice volume,
12 but also sea surface temperature, and, at some locations, sea
13 water salinity as well.

14 Continental paleotemperature records, such as have
15 been obtained from the Greenland and Antarctic ice cores, or
16 from Devils Hole vein calcite, are the summation of cloud-
17 base temperatures, changes in moisture sources, changes in
18 isotopic content of the oceans.

19 Even if proxy records were unequivocal
20 representatives of a single well-defined aspect of
21 paleoclimate, we need to remember some other important things
22 if we choose to compare two or more proxies.

23 First, different proxy records, even when obtained
24 from the same test hole or location, typically record related
25 events at different times, either because of causal relations

1 between them, or because both are responding sequentially to
2 a third, but as yet unidentified, factor. A good example is
3 ice volume and sea surface temperature at Site 893A in the
4 Santa Barbara Basin, about 420 kilometers from Devils Hole.

5 I show this data because Site 893A is the closest
6 ocean drilling project program site to Yucca Mountain, at
7 least the closest of the modern drilling, because it is an
8 extremely high resolution marine record, having a
9 sedimentation rate of 160 cm/kyr, and because we will
10 demonstrate, in a forthcoming paper, that the temperature
11 variations recorded by oxygen 18 in Devils Hole are nearly
12 synchronous with the sea surface temperature at this site;
13 synchronous both in timing and in magnitude.

14 The oxygen 18, in red, is an ice volume record,
15 with sea surface temperatures shown in green. Both time
16 series are tied to the same chronology, SPECMAP. Please note
17 that prior to the last two deglaciations; that is, the
18 penultimate deglaciation, and the last deglaciation, prior to
19 both of them, sea surface temperature started rising about 10
20 kyr before the ice sheet started melting. In fact, the sea
21 surface temperatures achieved half to two-thirds of their
22 maximum value before the melting even began. So, which of
23 these two proxies should one use to define the transition
24 from full glacial to Holocene climates in the Great Basin?

25 To complicate matters further, the same proxy; for

1 example, sea surface temperature, may record related events
2 at different times, depending on latitude, even when all are
3 tied to the same chronology. As you have seen, during
4 deglaciation, sea surface temperature proceeded ice volume
5 off of southern California; and, incidentally, also, in the
6 Southern Ocean and in the equatorial Pacific, but, in the
7 North Atlantic, sea surface temperature lags ice volume by
8 thousands of years, as shown over a decade ago in the
9 monumental CLIMAP Final Report.

10 Hence, comparing different proxies from different
11 locations, as is commonly done, is very risky unless both
12 proxies are equally well-dated, and unless the potential for
13 spatial gradients are explicitly assessed.

14 To conclude these introductory remarks, proxy
15 records are fascinating, but tricky to unravel, even when
16 well-dated. To be certain of a paleoclimatic conclusion
17 extracted from a proxy record, it is prudent to have at least
18 one independent line of evidence in support one's favorite
19 notion, especially when dealing with an endeavor receiving
20 the scrutiny given to Yucca Mountain.

21 Okay. I was invited here today to tell you what
22 we've learned from Devils Hole that might bear on Yucca
23 Mountain as a repository, so let me try.

24 For decades, geologists have been using tufas and
25 travertines; that is, surficial carbonate rocks of ground

1 water or lake perimeter origin, to infer paleo-lake levels,
2 paleo-groundwater discharge points, and the altitude of such
3 discharge, paleo-ecological changes, and the timing of such
4 changes.

5 In Devils Hole, we had the opportunity to use not
6 only tufas, but also, calcitic veins that record the upward
7 flow of groundwater in fissures that fed the tufas. What do
8 these calcitic tufas and veins look like in Devils Hole? I'm
9 going to take you on a two-minute SCUBA tour of Devils Hole.

10 Here you see what Devils Hole looks like at the
11 surface; not very impressive. It's a conical-shaped,
12 collapsed feature into an open fault zone. Let's take a look
13 at what the fault zone looks like in a northwest/southeast
14 cross-section. This is a scale prepared by Alan Riggs of the
15 fault zone dip, 70 to 80° to the southeast. It's open
16 somewhere below, to a depth below 150 meters, and the opening
17 is to scale. The average opening is just about two meters.

18 Let's look at the fault zone along strike; that is,
19 northeast/southwest. This is an old slide prepared by the
20 Parks Service. We have much more detail, but I like to use
21 this because it's rather simple, but it shows the main
22 features.

23 The saturated zone is shown in purplish blue. Look
24 at Brown's Room in the upper right-hand quadrant. Brown's
25 Room is a small room, nine meters high, that extends above

1 the water table. It has not yet stoped its way to the
2 surface. Some day, it'll do so. We'll talk about deposits
3 in Brown's Room in a minute.

4 This is a shot taken by Ray Hoffman of the Survey,
5 Carson City Office. Just below the entrance to Brown's Room,
6 just below the water table, it shows you the typical roof of
7 the opening. The deposits in the upper fifth of the slide,
8 the sub-horizontal deposits, are called folia in the cave
9 literature, in the spelunking literature, and these deposits
10 mark the stands of former water tables.

11 The massive white-color material in the lower four-
12 fifths of the slide are the vein calcite that you find, the
13 dense vein calcite that you find lining all open fissures in
14 the regional carbonate aquifer of southern Nevada remind you
15 that the waters in the aquifer are supersaturated with
16 respect to calcite.

17 This is a shot above water table in Brown's Room.
18 This is Peter Kolesar, a carbonate petrologist, who works
19 very closely with us. He's at Utah State University. The
20 reason Peter is sweating is the relative humidity in Brown's
21 Room is always 100 per cent. This is a beautiful shot of
22 these folia. Again, they extend to the top of Brown's Room,
23 nine meters above water table.

24 This is taken 40 feet below water table on a
25 breakdown block. It shows the drilling rig that Alan Riggs

1 constructed, using off-the-shelf items. It's an air motor,
2 powered by a compressor at the surface. The air motor drives
3 a core barrel. Everything is held in place by a strut that's
4 anchored to the hanging wall and foot wall.

5 The next slide shows a close-up of the core barrel,
6 and the strut holding the core barrel in place, but, more
7 important, it shows the beautiful nature and the density of
8 the mamillary calcite lining this open fault zone, and the
9 last part of the tour shows the results of three days work by
10 Alan Riggs and colleagues to get this core.

11 It took, as I said, three days, but most of those
12 three days were spent decompressing, with just a few hours a
13 day drilling. This 36 centimeter long core gave us the half
14 million year record that we'll show in a moment.

15 Because the Devils Hole veins and tufas appear
16 calcite, they are readily dated, using 230 thorium. I notice
17 that there are a number of geochronologists in the audience,
18 so I will just say, for your benefit, incidentally, using
19 samples that we provided, the Devils Hole chronology has just
20 been replicated by Larry Edwards at University of Minnesota,
21 and M.T. Murrell of LANL, using a different isotope, and they
22 were kind of enough to endorse the Devils Hole chronology in
23 print. This took place at the spring AGU meeting.

24 The calcite in the veins lining the walls of Devils
25 Hole records for us oxygen 18 and carbon-13 in upwelling

1 groundwater that deposited the calcite.

2 The next slide shows the 500,000 year oxygen 18
3 time series recorded by the veined calcite from the core
4 retrieved by Alan Riggs and his colleagues. We consider this
5 time series to be principally a proxy of paleotemperature for
6 reasons which I will be glad to recite, if asked to, during
7 the question period. The barely visible dots mark 258
8 measurements of oxygen 18, while the vertical bars at the top
9 of the slide show the location of the U-series dates, with
10 two sigma error bars attached to them.

11 I show next an overlay of the Devils Hole and the
12 marine oxygen 18 time series. The linear correlation, (r) ,
13 not (r^2) , (r) , between these records is .86. No shifting of
14 curves preceded the correlation analysis. Incidentally, I
15 should add, we've now extended the Devils Hole record forward
16 another 40,000 years. We've now come forward to 19,000
17 years. This was an older slide, and it started at 16.

18 Let's look next at a comparison of the Devils Hole
19 record and the Vostok, Antarctica ice core paleotemperature
20 record. The linear correlation of Devils Hole with the
21 initial Vostok chronology, that of Lorius, et al., 1985, is
22 0.92. The correlation with the more recent EGT chronology, a
23 chronology driven by a desire to be synchronous with the
24 marine record, is 0.85.

25 Please recall that Vostok is 113 degrees latitude

1 south of Devils Hole, so that these correlations, achieved,
2 mind you, without any shifting of the curves; that is, using
3 the time scale as given by each source, this correlation is
4 remarkable. How many linear correlations of natural
5 phenomena are you aware of that exceed 0.8?

6 So, what do these slides tell us? I believe they
7 show unequivocally--and I hope that's the strongest word that
8 you hear me use today--I believe they show unequivocally that
9 the major Pleistocene climate shifts recorded in the global
10 marine ice volume record, and in paleotemperatures at Vostok,
11 occurred as well in the Great Basin, as recorded by the
12 Devils Hole oxygen 18 time series.

13 Now, clearly, there are differences in timing of
14 some key events in these records, differences which some of
15 you know have engendered eight published discussions of our
16 1992 paper, and, clearly, no one is claiming that the
17 magnitude of temperature at, say, for example, Vostok and
18 Devils Hole is similar, but these records are telling us that
19 the southern Great Basin underwent the same dramatic climate
20 shifts during the mid- to late Pleistocene as have been
21 documented elsewhere on earth.

22 Well and good, but the Devils Hole oxygen 18 record
23 is only a paleotemperature proxy, which tells us little about
24 the subject you are most interested in from a Yucca Mountain
25 perspective; namely, effective moisture, or paleo-effective

1 moisture.

2 Were the full glacial climates of 20 to 30 thousand
3 years ago cold and dry, cold and wet, or mild and wet? All
4 three of these scenarios have appeared in the literature in
5 the past 15-20 years.

6 That they were colder appears to be the case if you
7 believe the Devils Hole oxygen 18 time series. That they
8 were also wetter is seen from the Brown's Room 100,000-year
9 water table hydrograph.

10 Please turn to the top illustration on the sixth
11 page of my handout. Sorry, I don't have a slide of that.
12 May we have the lights possible just for a minute? If not,
13 I'll go on.

14 Anyway, this figure from Barney Szabo and
15 colleagues, published in Quaternary Research a couple years
16 ago, 1994. Recall the brachi-fungi looking calcite deposits
17 that I showed in our instant SCUBA tour of Devils Hole.
18 These deposits, again, called folia in the cave literature,
19 are formed at the water table as the CO₂ out gasses from the
20 upwelling groundwater, and they mark the stand of both modern
21 and paleo-water tables in Brown's Room.

22 Szabo, et al., collected folia from levels up to
23 nine meters above the modern water table, and they dated them
24 using 230Th. They also used, incidentally, the calcite veins
25 and flowstones, two other types of deposits, although these

1 two only indicate whether the water table was above or below
2 the level at which they were collected.

3 We see that the highest water table in this 115 kyr
4 record occurred between 45,000 and 19,000 years ago. Since
5 19,000, the water table declined steadily to its modern
6 value. So, clearly, this record, when used in conjunction
7 with the oxygen 18 record obtained from the vein calcite,
8 supports the cold and wet scenario for the latest Wisconsinan
9 glaciation. Let's compare this record with another well-
10 dated Great Basin proxy record of effective moisture.

11 Here I have plotted only the last 40 kyr of the
12 Brown's Room hydrograph, along with the Lake Bonneville
13 record, in order to illustrate a point I made at the start of
14 my talk; that geographically separated proxy records, even
15 when of similar phenomena--in this case, effective moisture--
16 need not be coincidental, even when both records are well-
17 dated, as these are. Much more could be said about these two
18 records, if time allowed, and Rick, maybe later on, you and I
19 can discuss these.

20 Okay. Does the water table rise of nine meters in
21 Brown's Room during the past full glacial time have any
22 transference value to Yucca Mountain? And, why is this rise
23 so much smaller than other values reported in the literature?
24 Values as high as 90 meters were recently published by Jay
25 Quade and Marty Mifflin in the GSA bulletin.

1 A short answer is that the nine meter rise in
2 Brown's Room is not transferable to Yucca Mountain because it
3 occurs in a different aquifer, and is also in a different
4 groundwater basin than Yucca Mountain. But, perhaps there is
5 a more instructive lesson for Yucca Mountain from this modest
6 nine meter late Pleistocene to modern water table shift.

7 As we heard yesterday, and as has been well-
8 documented, not only at Yucca Mountain, but throughout the
9 Great Basin, the complex structural and stratigraphic setting
10 of this region results in an amazing distribution of modern
11 water table depths. Depths to water table ranging from a few
12 tens of meters to hundreds of meters below the surface occur
13 within one to two kilometers of each other, even beneath a
14 single bajada.

15 These modern differences in depth to water table
16 reflect the structural disposition of aquifers and aquitards,
17 facies changes, and the presence or absence of
18 topographically low outlets for the aquifers. Paleo-water
19 levels were, of course, also subject to the same tectonic,
20 stratigraphic, and topographic controls as modern water
21 levels, at least over a period of a few hundred thousand
22 years.

23 If, as is likely, recharge increased during the
24 last glacial period, then a highly transmissive aquifer with
25 a topographically low outlet, for example, the regional

1 carbonate aquifer at Ash Meadows, would be expected to show
2 only a modest rise in water level, and such is the case in
3 the Brown's Room of Devils Hole.

4 In contrast, a sub-basin underlain by a thick
5 aquitard might record a water table rise of tens of meters in
6 response to the same climatically induced increase in
7 recharge. My point is that for a proxy water table
8 determination to be transferable to Yucca Mountain, it must
9 not only be in the same basin and the same aquifer, but the
10 aquifer must be in the same structural setting as the Topopah
11 Spring formation beneath Yucca Mountain. If these conditions
12 are not met, the paleo-water level proxy, however well-dated,
13 may not represent water table change beneath Yucca Mountain.

14 This, for me, is the chief lesson to be learned
15 from the modest nine meter glacial to Holocene water table
16 shift, beautifully recorded in Szabo's 100,000-year
17 hydrograph.

18 I turn next to another use to which the Devils Hole
19 time series might be put in furtherance of assessment of
20 Yucca Mountain as a repository. How long were the previous
21 four interglaciations; and, consequently, how much longer
22 might we expect Holocene climate to last?

23 Now, this can be approached by modeling, as we'll
24 hear this afternoon. If you're a field-oriented person, as I
25 am, you tend to look at the past, look at the record and see

1 what the evidence we have tells us that we may use.
2 Discussion of such a topic must begin with a few comments on
3 what is your definition of an interglaciation?

4 You've seen this slide of the marine ice-volume
5 before. Let's focus on two current definitions of the last
6 interglaciation. The warm period between the dashed vertical
7 lines is the preferred definition of some, perhaps many
8 landlubber Quaternary geologists. This interval, which they
9 refer to as the Sangamon, had a duration of approximately 56
10 kyr on the SPECMAP time scale.

11 In contrast, paleoceanographers define the last
12 interglaciation as the 13 kyr interval bracketing the highest
13 peak. They refer to this interval as marine isotope substage
14 5e. The approximate mid-points of the rising and falling
15 limbs define the duration of the interglaciation under either
16 of these definitions.

17 Now, we will use the paleoceanographers' definition
18 today because it leads to a very conservative analysis; i.e.,
19 a minimum value for the likely duration of past and of the
20 current interglacial climates, but keep in mind that the
21 alternate definition for a much longer interglaciation is not
22 without some supporting evidence, which I do not have time to
23 get into today.

24 You should also be advised that the 13 kyr duration
25 assigned to the last glaciation by the paleoceanographers is

1 not based on radiometric dating, but rather on theoretical
2 assumptions regarding the relationship of 20 and 40 kyr
3 cycles in the marine record to precession and obliquity-
4 controlled cycles in insolation. On the next slide, we apply
5 this sensu stricto definition of an interglaciation to the
6 Devils Hole oxygen 18 time series.

7 I show on this slide, with a blue overlay, the last
8 four interglaciations at Devils Hole. They range in duration
9 from 18,000 to 26,000 years, averaging 22,000 years, or
10 nearly twice as long as in the SPECMAP marine record. The
11 Vostok ice core also indicates that the last interglaciation
12 was on the order of 20,000; in fact, it was the Vostok
13 workers who first pointed out that, on continental records,
14 the interglacial seemed to be twice as long as in the marine
15 record.

16 Is there any other evidence regarding the duration
17 of past interglaciations? Data for the high stand of the
18 last interglacial sea level are especially interesting, and
19 when I say high stand, talking about when sea level was at or
20 above modern levels.

21 The red bars give the duration of the last
22 interglacial high stand in six separate studies published in
23 the past five years. For the benefit of the geochronologists
24 in the audience, I must mention that all the U-series
25 measurements in these studies were made with Tim's mass-spec

1 methodology, and they met the strict criteria that the
2 initial uranium ratio be equal to that of sea water, and I'm
3 sure some of you recognize Barney Szabo and Dan's work and
4 Ken's work, and others.

5 The top bar you may not have seen represents a
6 synthesis of all the data by Claire Stirling. This appeared
7 in the December, '95 issue of Earth and Planetary Science
8 Letters. Her work indicates the duration of 12-13 kyr, but
9 in using such data, please recall that the high stand data
10 tell us nothing about the time that it took to reach and
11 recede from these high stands, and when you consider such
12 data, based on the sea level curve of Richard Fairbanks for
13 the last 20,000 years, you cannot escape the conclusion that
14 the sea level data, if you apply the same definition of an
15 interglaciation, the mid-point of the rise and the decline,
16 that the sea level data also support an interglaciation on
17 the order of last interglaciation of at least 20 kyr.

18 Now, clearly, in this exercise, we have been
19 comparing different proxy records, which you will recall I
20 cautioned against at the start of my talk. Specifically,
21 because they are different proxies, they are likely to occur
22 and do occur at different times. Nevertheless, each of them,
23 with the exception of the Marine 0-18 records, suggests that
24 the past interglaciations were of 20 kyr duration. Let's add
25 still a further complication.

1 Because the paleoceanographic definition places the
2 the interglacial boundaries at the mid-point of the rise and
3 of the decline, it, perforce, includes climates considerably
4 cooler than represented by the peak values. However, if we
5 are interested in the duration of modern peak warm periods,
6 then we need other information.

7 The marine oxygen 18 records shown on this slide
8 suggest that these peaks lasted only a few kiloyears, two to
9 three kiloyears. The Devils Hole record, in contrast,
10 indicates peak durations on the order of 10 to 16 kyr, as
11 seen on the next few slides, which are simply expanded scale
12 plots of three of the past four interglaciations.

13 Ignore the top time series. It's the Carbon-13
14 record from Devils Hole, which I have not even mentioned
15 today, because it would take me a minimum of an hour to try
16 to make some sense of it.

17 The O-18 record we've been talking about is in the
18 lower part, and the yellow overlay simply brackets that part
19 of the record where the O-18 varied less than $\pm .15$ per mil;
20 essentially, no variation.

21 This is, in paleoceanographic terminology, substage
22 11.3, which for you is four interglaciations ago; again,
23 16,000 year period of relative quiet. Going back three
24 interglacials ago, which they term substage 9.3, we see a
25 quiet period of ten kiloyears, and now coming to substage

1 5.5, which is another terminology for 5e, that is the last
2 interglaciation. We have 10 kiloyears.

3 Temperature data from Antarctica, deduced from the
4 oxygen 18 data from six cores, shows an 11 kyr long Holocene
5 peak as seen on the next slide, supporting the Devils Hole
6 findings of a 10 kyr or longer warm period. I could show you
7 an identical record from Greenland.

8 Speaking of Greenland, at the last AGU, Richard
9 Alley of Penn State showed some interesting data that
10 suggested that around 8200 years ago, there was a temperature
11 shift of perhaps two to three degrees Centigrade, so the
12 Holocene was not without variations, but compared to other
13 things, it was very quiet.

14 I have tried in the past few minutes to summarize a
15 lengthy manuscript on the duration of the past four
16 interglaciations as a guide to the future. The bottom line
17 of that paper is that the present interglacial may be over,
18 or could last another 10 kyr, dependent on which proxy record
19 one wishes to use, and when you believe the Holocene began,
20 another matter which is also proxy-dependent, as you saw in
21 one of my first slides, the one comparing global ice volume
22 and sea surface temperature off of southern California.

23 Alternatively, if one's concern is solely with the
24 possible duration of current peak Holocene warmth, it may be
25 over, or could last another 5 kyr, and, needless to say, none

1 of the proxy data I've shown you take into account possible
2 anthropogenic alteration of climate.

3 Does the impending end of the Holocene-type
4 climates, whether in one or in ten kiloyears, mean that we
5 will enter an ice age? Not necessarily so. As mentioned at
6 the start of my talk, new evidence just published in Science,
7 indicates that almost--actually, that's not fair. The
8 authors published a shorter version in Paleoceanography about
9 two years.

10 Okay, anyway, the new evidence indicates that
11 almost half of the marine 0-18 signal is temperature, not ice
12 volume, as believed for the past 23 years. This new finding,
13 in turn, greatly helps to explain why sea level remained
14 above modern levels 115,000 years ago, as shown in several
15 well-defined sea level records by Barney and others;
16 remember, the Hawaii problem they pointed out?

17 At that time, 115,000 years ago, sea level was
18 above modern, but the marine curve, ice volume curve
19 indicated that sea level was 50-60 meters below modern; that
20 is, that there was a considerable build-up of ice volume.
21 Apparently, the marine 0-18 curve at that time was recording
22 a drop in temperature rather than a build-up in ice volume.

23 Additionally, there is strong evidence that two-
24 thirds of the last ice sheet build-up may have occurred, may
25 have occurred in the closing 15-20 kyr of the "100,000 year

1 cycle."

2 The bottom line is that the marine O-18 record
3 should not be routinely read as ice volume. At the same
4 time, we need to know what past climates were like during the
5 first, let's say, 10 to 40 kyr after the end of the previous
6 interglaciations.

7 Okay. Some conclusions of this rather rambling
8 presentation.

9 I. Due to the large number of startling findings
10 in the field of paleoclimatology in the past four years, it
11 appears prudent to have at least two independent lines of
12 evidence in support of any paleoclimatic notion that one
13 favors, especially in endeavors receiving the scrutiny given
14 always to Yucca Mountain.

15 II. The global glacial-interglacial cycles of the
16 Pleistocene clearly occurred in the southern Great Basin.
17 The last glacial maximum was cold and wet, not a surprise to
18 most of you.

19 III. Extrapolation--and this may be trivial, but I
20 think it's worth repeating. Extrapolation of proxy water
21 table altitudes to Yucca Mountain from distant sites is
22 risky, even if the levels are well-dated, and the record is
23 from the same groundwater basin. Needed are paleo-water
24 table data in the same structural block as the Topopah Spring
25 formation at Yucca Mountain.

1 IV. An examination of a large data base indicates
2 that the past four interglaciations lasted on the order of 20
3 kyr. Based on these records, the present interglacial is
4 unlikely to persist for more than 10 kyr into the future, and
5 perhaps for much less time, barring major anthropogenic
6 effects on climate.

7 V. The end of the present interglacial need not
8 necessarily mean rapid growth of high latitude ice sheets,
9 but, rather, cold climates in the Great Basin. Considerable
10 more knowledge is needed on the paleoclimatology of the
11 transitional periods between the peak interglacials and the
12 cooler stadials that followed them.

13 Last, and perhaps most important, during major
14 climatic transitions; i.e., glacial to interglacial,
15 different proxy records are commonly offset from one another
16 because they are marching to different drummers. The offset
17 can be as much as 10 kyr; hence, the common assumption that
18 changes seen in one's favorite continental proxy are in lock
19 step with the global marine ice volume record may not be
20 correct.

21 Thank you for your patience.

22 DR. DOMENICO: Thank you, Ike.

23 Any questions from Board members? Don Langmuir,
24 Board.

25 DR. LANGMUIR: Ike, you've shown us, from Devils Hole,

1 how we could use the carbonate precipitates, and I'm sure
2 folks in this program have been looking for carbonate
3 precipitates in voids and fractures below the repository
4 horizon to the groundwater table, but I've never heard
5 anything about it.

6 Are you aware of any such work, and does it tell us
7 anything at all, if it exists, about paleo-water tables at
8 Yucca Mountain?

9 MR. WINOGRAD: There's been a lot done, and two
10 gentlemen here, Zell Peterman and Jim Paces, I believe, are
11 going to be talking about this this afternoon.

12 DR. LANGMUIR: Are they talking about paleo-water
13 tables, or are they talking about infiltration waters coming
14 downward in the ESF? Zell?

15 MR. PETERMAN: We'll be talking about infiltration.
16 There are carbonate veins in the saturated zone. There's a
17 zone around the water table, give or take maybe 100 meters,
18 where calcite's pretty sparse. We've done a few analyses,
19 just isotopic analyses. I don't think--well, I'll take that
20 back. There are a few uranium series ages, maybe from
21 saturated zone calcites, but it's not a large data set at
22 all, and it's not something we're looking at right now.

23 DR. LANGMUIR: And do we have any sense of what the
24 paleo-water table has been doing at the same time that Ike's
25 Devils Hole data has been accumulating?

1 MR. PETERMAN: There have been arguments based upon
2 mineralogy from the Los Alamos people, the arguments based
3 upon the vitric transition zone in the rock mass from the
4 standpoint that the vitric rock occurs above any zone that
5 was saturated, and this is roughly, I don't know, 80-100
6 meters above the current water table.

7 We made an argument several years ago on the basis
8 of strontium isotopes on some calcites from G-4, that they,
9 isotopically, more resembled saturated zone water strontium
10 than they did the other, the calcites, whose source was
11 infiltrating from the surface.

12 I think Barbara Carlos wrote a paper several years
13 ago looking at fracture-filling material, and I think she
14 argued that there were some of the fracture mineralogy,
15 something like, I don't remember these figures for sure, so
16 80-100 meters were more similar to what occurred in the
17 saturated zone, so I think that's what exists at the rock
18 mass itself.

19 DR. LANGMUIR: Do you guys have confidence that it's an
20 80-100 meter effect that we're dealing with at Yucca
21 Mountain, as opposed to the 9-meter effect at Devils Hole?
22 How certain are we of that?

23 MR. PETERMAN: Well, there is no direct age information
24 on these features at Yucca Mountain itself.

25 DR. LANGMUIR: What would it take to get it?

1 MR. PETERMAN: Several--

2 DR. LANGMUIR: This is the critical issue; right? This
3 is really the critical issue.

4 MR. PETERMAN: It's a critical issue, right. We do--and
5 I think Rick Forester will address these things--there are
6 the Old Spring deposits within a few kilometers or tens of
7 kilometers of Yucca Mountain, and they're, you know, they're
8 some sort of proxies for water discharge in the past, and
9 there's a pretty good chronology emerging for those.

10 DR. LANGMUIR: I don't think the discharge is the issue.

11 DR. DOMENICO: Let's refocus on Ike here, because we're
12 going to hear from Zell this afternoon.

13 DR. LANGMUIR: I appreciate that.

14 MR. WINOGRAD: These aren't dated; correct? They're not
15 dated.

16 DR. DOMENICO: Anything further for Ike from Board
17 members?

18 How about our other consultants? Do they have any
19 questions of Ike; and staff? Leon Reiter, staff.

20 DR. REITER: Leon Reiter, staff.

21 Ike, I notice you did not mention the word
22 Milankovich, and I guess that was carefully planned on your
23 part, and I guess we will hear later on about an effort to
24 invoke some of the orbital forcing functions in predicting
25 what might be in the future.

1 What's your view of that? What do see from Devils
2 Hole your view on those things?

3 MR. WINOGRAD: Okay. Let me give a two-minute answer.
4 Is that all right? I can't do it in less than that, but I
5 don't want to take longer.

6 First of all, Milankovich, the word Milankovich is
7 used in two different, very different senses by different
8 groups of people. The physical stratigraphers have a sub-
9 field called cyclostratigraphy. The stratigraphers see
10 cycles in their records, 20-40-100,000 year, 400,000 year,
11 two million year, and they see this in sediments way back to
12 the Triassic. There is no doubt that these cycles--well, it
13 appears the cycles are real. They've been challenged at some
14 sections, but not elsewhere. I accept them as real.

15 The cycles are real in the marine bracket. The
16 cycles occur in Devils Hole. We said this in our first
17 publication, and in the second publication. Cycles are real.
18 In fact, John Embry, in his critique of our work, claims
19 that the 20 and 40 and 100,000 year cycle are better
20 developed in Devils Hole than the marine record. Well, okay.
21 Anyway, they're there, so the cycles are there and are real.

22 But, as Olson and Kent of Lamont have pointed out,
23 most recently in the latest issue of PQ, paleoceanography,
24 paleoclimatology, and paleo-something else, but, anyway, they
25 pointed out that they have these cycles in great strength in

1 the Triassic during an ice-free world. So, the presence of
2 the cycles in sediments, whether the continental or marine,
3 or in vein calcite, is not a sufficient condition for
4 northern hemisphere glaciation, so that's one way Milankovich
5 is used, as cycles. They're real.

6 I think the way you're asking about, that people
7 don't always distinguish, is Milankovich, the Milankovich
8 hypothesis for the origin of northern hemisphere glaciation,
9 and Milankovich himself, by the way, recognized--he was aware
10 that there were cyclothem in the carboniferous rocks, and he
11 was aware that insolation occurred way before the start of
12 northern hemisphere glaciation, and so, he knew himself that
13 insolation was not a sufficient condition, and the cycles
14 were not a sufficient condition, and so he invoked the
15 movement of the pole, of the North Pole.

16 Our view is that, again, Milankovich knew it
17 himself. Salzman has said it more recently. Insolation
18 itself is not a sufficient condition for the northern
19 hemisphere glaciation, because it preceded northern
20 hemisphere glaciation. We showed in our 1992 paper that
21 insolation is not a necessary condition for deglaciations.

22 And one last thing, and that is that in response to
23 the Devils Hole challenge, and in response to some very
24 detailed sea level dating by Barney and others, and Sterling
25 and Chin and on and on, it was recognized that some

1 modification had to be made in the Milankovich theory, and,
2 indeed, Tom Crowley and T.L. Kim published a paper in Science
3 in 1994--and I have that paper with me if anyone wants the
4 exact reference--they published a paper in which they made a
5 major modification in the formulation of the Milankovich
6 hypothesis, and I won't get into what modifications they
7 made.

8 And this is exactly what should happen in science.
9 If a hypothesis is challenged by some new data, the first
10 thing is, is the data correct? And then, if you replicate
11 the data, then a modification must be made to the hypothesis,
12 and this is exactly what Crowley and Kim did.

13 That would be my two-minute answer; probably took
14 more than two minutes.

15 DR. DOMENICO: I'm certain there are more questions, but
16 we have a round-table later this afternoon, so, I think, in
17 view of the schedule, we should get going.

18 Thank you very much, Ike.

19 MR. WINOGRAD: You're welcome.

20 DR. DOMENICO: The next presentation is by Rick
21 Forester, who will talk about the paleoclimate records,
22 implications for future climate change.

23 Rick?

24 MR. FORESTER: The purpose of our effort in the Yucca
25 Mountain Climate Program is to look at past records in as

1 much detail as we possibly can in order to provide
2 information, at least a basis to discuss what the future may
3 hold.

4 In today's talk, in 25 minutes, I can't go into all
5 of the detail that we have. What I would like to do is to
6 address three areas: first, climate forcing functions on a
7 millennial time scale; second, climate records for the past
8 400,000 years, the calibration of those millennial time
9 scales; and, thirdly, some information that we have from
10 multiproxies during the last glacial cycle.

11 As Ike was starting to discuss, climate is a very
12 complex process. There are many, many forcing functions that
13 drive the climate system. Most of those forcing functions
14 are clearly terrestrial. They are things that are working on
15 the land, not in the skies. Indeed, climate forcing
16 functions work on all time scales. Changes in solar
17 variability, volcanic eruptions commonly operate on a short
18 time scale. On a very long time scale, factors such as
19 continental drift and tectonism; indeed, tectonism in the
20 Yucca Mountain area transformed Pliocene wet, woodland-type
21 climates into a semi arid desert.

22 On the time scales that we're most interested in--
23 and, as Leon brought up, we are looking at the primary
24 forcing function of orbital parameters. The orbital
25 parameters that are import to driving insolation include

1 eccentricity, the fact that the earth's orbit changes from a
2 circle to an ellipse over time, and I'll use that in the rest
3 of the talk. We also have obliquity, where the earth tilts
4 on its axis, which, in the northern hemisphere, increases or
5 decreases the size of the polar circle, and we have
6 precession, basically, a wobble as the earth rotates, such
7 that it determines the seasonality of the earth's approach to
8 the sun during the elliptical orbit, affects the amount of
9 insolation.

10 If we simply look at the eccentricity curves,
11 eccentricity spectra for the last 800,000 years, we notice a
12 couple of things. If we look at where we are in the modern
13 world here, and we go back in time, we see that we've got
14 400,000 year eccentricity cycles. The larger values on the
15 curve represent a time in history when the earth's orbit is
16 very elliptical; the smaller values represent a period in
17 time when the earth's orbit is relatively circular.

18 And, I think one of the things that I've often
19 wondered in terms of all of the CLIMAP studies is when you
20 look at simply eccentricity--and eccentricity plays a major
21 role in precession, in particular, in that in terms of
22 insolation--these subcycles of 100,000 years in duration are
23 quite different from each other. They aren't the same kinds
24 of things. Therefore, I wouldn't intuitively expect those
25 subcycles to be identical in the record, and as I'll show in

1 a moment from the Owens Lake record, they appear not to be.

2 The impact of eccentricity and procession on
3 insolation can be seen in this diagram; great deal of
4 variation. Large ranges in variation represent times when we
5 have an elliptical orbit, and small variation represent
6 points in times when we have a relatively circular orbit.

7 This is an insolation curve simply calculated from
8 a million years ago to a million years in the future. If we
9 notice, in particular, from Year 0 forward in time over the
10 next 100,000 years, insolation falls in the relatively small
11 range, and represents a period in earth's history where we're
12 moving from an elliptical orbit into a circular orbit.

13 If we simply compare the time frame in the next
14 100,000 years, 0 to 100,000, the bottom axis, to the time in
15 history when it was most similar, part of that 400,000 year
16 cycle, we see that the insolation curves are relatively
17 similar, but they are not identical.

18 Well, does any of this matter? Does insolation
19 have a record in the Great Basin? And Ike has already
20 discussed this, in part, and, indeed, what the Devils Hole
21 record does, by having precise chronology, by having a superb
22 chronology, is it tell us, as, I think, Ike just said, that
23 these kinds of cycles do exist in the Great Basin.

24 Ike has noted in great detail in his article in
25 Science that there's a difference in timing between his

1 record and that of SPECMAP, SPECMAP being the oceanographic
2 record shown here on the bottom curve. Indeed, there are
3 differences, and when you consider the climate forcing
4 functions are operating in all time scales, are largely
5 terrestrial, and even that the orbital cycles are not
6 perfectly linear or symmetrical, the differences between
7 SPECMAP, between insolation-driven assumptions, purely
8 insolation-driven assumptions, and that of Devils Hole, are
9 not all that great.

10 In fact, we can plot the Devils Hole. We can plot
11 the Devils Hole interglacials on the eccentricity curve, the
12 maximum temperature implications from the interglacials shown
13 in gray, and the transition to glacial periods shown in light
14 gray. In most of those instances, as Ike has said, the
15 lengths of the interglacial, plus transitions, run from 20 to
16 30,000 years in duration, and each of those interglacials
17 then fall on a particular part of the eccentricity curve, and
18 can then be related to insolation and the orbital parameters,
19 in general.

20 As Ike has also said, the Devils Hole record,
21 although it provides us with an excellent chronology, and,
22 quite likely, a temperature record, does not provide us with
23 a moisture record. What we have to do to get effective
24 moisture is go to something in the area at the earth's
25 surface.

1 So, in summary of where we are now, the Devils Hole
2 record shows that southern Nevada responds primarily, but not
3 entirely, to orbital insolation forcing functions on a
4 millennial time scale. Orbital forcing functions may be
5 calculated for the next climate cycle, and offer a general
6 guide to future climate change.

7 The regional effect of future climate changes may
8 be evaluated by a study of the long-term past climate and
9 hydrologic records, which is what I'll talk about next.

10 Future 400,000 year insolation climate cycles
11 should be similar to the past cycles, just as the 800 to 400
12 cycle was similar to the last, and long-term climate forcing
13 functions, tectonisms and continental drift, will not change
14 significantly in the next 400,000 years.

15 Further, as Ike indicated in his talk, proxies are
16 not perfect. By no means are they perfect. In fact, that's
17 why we always try to look at a multitude of proxies, because
18 even in paleoecologic proxies, the most commonly used for
19 climate, there are great differences between each different
20 kind of organism.

21 In the case of Owens Lake, which is the primary
22 record that I'll talk about here--but we also have records
23 from Death Valley, from Walker Lake, from Kowich Playa, from
24 Desert Dry Playa, and from the Great Salt Lake, but in terms
25 of Owens Lake, we have to understand how the system operates

1 with respect to climate, and how our proxies might measure
2 that process.

3 At Owens Lake, the primary source of water for the
4 lake is derived from snow and rain at high elevation in the
5 surrounding mountains. Those waters are very dilute.

6 The primary source of salts, and an important
7 secondary source of water is derived from spring discharge at
8 low elevation.

9 During the very wet, cold climates, the dilute
10 river water completely dominates the lake, resulting in a
11 large, deep freshwater lake. During the very dry climates,
12 spring discharge dominates the lake, resulting in a shallow,
13 warm or cool saline lake. Intermediate climates result in
14 lakes with intermediate depths, thermal, and chemical
15 characteristics.

16 The volume, thermal, and chemical characteristics
17 of past lakes may be interpreted from the fossil diatoms and
18 ostracodes, and we also have pollen data from this site,
19 transforming fossil data into chemical data. Climate data
20 derived from those fossils may then be compared with other
21 records in the region, like that of Devils Hole, or
22 insolation criteria.

23 The first record that I'll show you--and this is a
24 tremendous oversimplification, and, by the way, you should
25 move Stage 11 on your handouts up to where it is shown here.

1 It slipped down into Stage 13 during copying.

2 The diatom record here is greatly oversimplified.
3 There are 50 or 60 or more species of diatoms, all of which
4 contribute to the climate signal. What we've done here is
5 simply show that we have freshwater diatoms representing
6 relatively large lakes in the planktic category, various
7 kinds of lakes with the benthic category, and the saline
8 diatoms representing, presumably, the dry climate periods.

9 Careful comparison of this record with the
10 insolation diagrams, or insolation forcing functions show
11 that the system is not responding in a perfectly linear way
12 in this area.

13 The major glacials are shown in circles, numbered
14 2, 4, 6, 8 and 10, representing the last 400,000 years, and
15 the interglacials are shown with triangles and numbered 5, 7,
16 9 and 11.

17 I could create a similar kind of diagram for the
18 ostracodes, but I decided to do it a little bit differently.
19 The ostracode diagram then would show a stratigraphic
20 profile of fresh and saline taxa.

21 What I did for the ostracodes was to take--and I
22 should back up and say that in this diagram, from about
23 200,000 years up, the blank spaces represent non-occurrence
24 of ostracodes. In those instances, we have to rely entirely
25 on the diatoms for a climate signal. Along about 200,000

1 years, most of the blank space represents portions of the
2 record that are currently being collected.

3 What I simply did was to take the dominant
4 ostracode in the assemblages that we're looking at, and both
5 in terms of the diatom and the ostracode record, we're
6 looking at in the order of a thousand or more samples from
7 this particular site for the last 450,000 years.

8 The modern world, the modern dry kind of climate, a
9 perfectly spring-dominated kind of world is shown in red for
10 *limnocythere sappaensis*. The very opposite end of the spectra
11 is *cytherissa lacustris*, which is purple. In that case,
12 *cytherissa lacustris* is a borial taxon and it represents
13 cold, dilute, very stable, unchanging kinds of lakes. So,
14 between red and purple, we're going from modern style
15 climates to the extremes of the glacial periods.

16 Now, one of the things we should notice about this
17 particular diagram--and I think it's important to the program
18 at large--and that is, if we believe that insolation is at
19 least a crudely predictive kind of criteria, and that 400,000
20 years ago represents something to do with where we are today,
21 then we go back to 400,000 on this diagram and simply read it
22 forward like a bar code reader, and what we find is what Ike
23 has just said. It's an important point, and this particular
24 record does differ greatly from Devils Hole.

25 Devils Hole shows its greatest magnitude of change,

1 what might be the coldest or the wettest, being in that Stage
2 10 period, that Stage 10 period that we, perhaps, are headed
3 into. What this record, and what the diatoms suggest as well
4 is that the next 200,000 years, on this diagram, is filled
5 with largely reds, yellows, greens. It's intermediate-style
6 climates. It is not a severe climate.

7 But, as we get up to 160,000 years, and, indeed, as
8 we come into Stage 6, again, consistent with what Ike was
9 saying, we go through a lot of red, which means modern like.
10 Then we come into the purples and blues. We move to the
11 extreme climates. The last two glacial cycles in this
12 record, which is within 100 miles of Yucca Mountain, shows
13 that Stages 6 and 2 are much colder and much wetter. We
14 don't know how wet yet. We're still trying to put numbers on
15 this relative scheme, but suggest that it's much wetter and
16 colder than what we saw in the earlier two cycles, the
17 earlier 200,000 year cycles, which look to be, in terms of
18 the future, drier, wet, wetter than today, certainly, but not
19 ice-filled worlds.

20 Now I would like to move from here to a multitude
21 of proxy records that exist in the last 40,000 years, and,
22 again, let me emphasize, it may be that the last 40,000
23 years, for insolation reasons, may not be a good analog for
24 what we're moving into in the future, but what the last
25 40,000 years does tell us, because we have many kinds of

1 proxy records, what it does tell us is a lot about how the
2 hydrologic system in this area changes in response to
3 climate.

4 Now, one of the first things we have to realize is
5 that in the Pleistocene, in this area, atmospheric
6 circulation is very different from today. A Pleistocene
7 world is not, in any way, shape, or form, like a Holocene
8 world, so when we talk about deviations in precipitation and
9 temperature, we're not talking about operations about a
10 Holocene mean. We're talking about an entirely different
11 mean.

12 In terms of circulation style, the kinds of--and,
13 in that consequence, the positions, in this case, of the
14 polar front, which today have an average position on the
15 Canadian border, in the Pleistocene, had an average position
16 in this area. Indeed, a good deal of Stage 2, they probably
17 were south of this area. The consequence of that is cold,
18 extreme cold, and then a moisture level that is
19 representative of the interaction of that circulation style
20 with the local topography.

21 This is some of the packrat midden data that is
22 generated, in part, by the Desert Research Institute, but,
23 indeed, the pattern that is here is also replicated in other
24 data sets; most notably, Jeff Spaulding's, and what it
25 represents, in this case--and, again, as with the other data

1 sets, it's a gross oversimplification of what total data we
2 have, but what it represents is an expression of, A, that
3 colder, wetter condition associated with polar fronts being
4 in the region. White fir and limber pine, which, today, live
5 in the area at high elevation, have moved down to lower
6 elevation. They're moving down to around 5,000 feet.

7 We see the end of that period represented
8 dramatically right here, and the appearance of pinyon pine.
9 That represents the retreat of the polar front out of this
10 region and to the north, as we go into a Holocene world.

11 Limber pine today is a plant that can live in
12 relatively dry kinds of conditions. Common average for
13 limber pine precipitation is something in the order of 16
14 inches. More importantly, limber pine is a plant that really
15 likes it cold. A common average for limber pine, mean annual
16 air temperature is 4 or 5°C, and, most importantly, limber
17 pine does not like warm summers. Limber pine does not like
18 summers above about 15°C on an average.

19 What limber pine coming down to lower elevation
20 suggests is that, at a minimum, temperatures in this area,
21 mean annual air temperatures are getting much colder. I
22 would suggest they're getting 10°C colder, but we're in the
23 process, a number of us are in the process of debating that
24 order of magnitude. Precipitation is probably increasing at
25 a minimum to bring those trees down to the elevation that

1 they move to, at a minimum, is increasing by 40 or 50 per
2 cent.

3 If we go to the center of the distribution of the
4 species itself, rather than worrying about what it takes to
5 bring us down from the mountain tops, because, again,
6 circulation has changed. We're not simply looking at a
7 modern world. We're looking at something more on the order
8 of doubling precipitation, and making it very, very cold.

9 White fir, by contrast, represents somewhat warmer
10 conditions. I should back up and say limber pine only
11 intervals, or quite likely intervals when the polar front is
12 largely south of the test site throughout the year. Today,
13 the polar front rarely gets to the test site.

14 White fir, by contrast, is wetter, and is warmer.
15 Warm is a relative term, and you'd be cool relative to today;
16 perhaps four or five degrees mean annual air temperature
17 cooler or colder, and an increase in precipitation--again, a
18 minimum number to bring the limber pine down, and this is
19 just Spaulding's number--he, indeed, has agreed that things
20 are wetter than he thought they were in the early eighties--
21 would be a 75 per cent increase in precipitation.

22 I would argue that we could easily be in the,
23 again, double or perhaps as high as triple, although I'm
24 beginning--as Jeff is beginning to think it's wetter, I'm
25 beginning to think it's drier, so there is some consensus.

1 What white fir then represents is a period when the polar
2 fronts are oscillating through the region, and, quite likely,
3 are bringing moisture in from the southwest.

4 They're bringing it in in a quasi monsoon style,
5 and, again, a sense of what that represents, yesterday, Alan
6 mentioned something about the importance of El Ninos--I said
7 monsoon, I meant El Ninos. Alan said something about the
8 importance of El Ninos. What white fir represents are mega
9 El Ninos, in a sense, only on a thousand-year time scale,
10 rather than every six years. So, it represents a huge amount
11 of moisture coming into the region. Huge might be double,
12 triple, something in that particular order.

13 We are also working on determining whether or not
14 the modern day precipitation gradient that Alan described
15 yesterday exists in the Pleistocene at the same magnitude
16 that it exists in the Holocene. If it exists in the same
17 magnitude, then the white fir intervals, in terms of the top
18 of Yucca Mountain, represent something on the order of 14 to
19 16 inches of precipitation.

20 We don't know the sigma one about that mean.
21 Modern day sigma one for climate stations in the area usually
22 suggest a variation of about 50 per cent of the mean, so
23 taking a 50 per cent of the mean, about a doubling gives you
24 a sigma one high value of triple, and a sigma one low value
25 of something comparable to the modern world.

1 In addition, the region and the valley bottoms are
2 filled with marsh deposits. Jay Quade, in particular, has
3 spent a lot of time studying those particular marsh deposits.
4 They simply represent an illustration that climate was wet
5 enough to support surface water in the region.

6 In this particular case, the Corn Creek Flat area,
7 we have several hundred samples through here. In the high-
8 level waste papers in 1994, I reported a climate
9 interpretation of 400 to 600 mm, 16 to 24 inches for what I
10 thought at the time was valley bottom climate. I'm now
11 convinced that there is sufficient moisture in the system,
12 and I'm convinced that there's sufficient flow through the
13 system, that, although I still believe the 16 to 24 inches, I
14 believe that has to represent where the precipitation fell,
15 integrating the mountain top.

16 Further, when we first started studying these
17 deposits, we thought they represented relatively continuous
18 deposition. As we began to date the deposits, we discovered
19 that, in fact, they represent very episodic deposition, and,
20 indeed, if we crudely plot the white fir intervals on against
21 these ages, we find that the major sediment packages are
22 representative of the white fir periods; again, supporting
23 the fact that white fir is probably a wetter period. Either
24 the limber pine periods have not had much deposition and were
25 drier and colder, or the limber pine period deposition has

1 been largely eroded.

2 And the last section I'd like to mention is the one
3 of the Lathrop Wells Diatomite. This is an outcrop that was
4 thought at one time to be early quaternary or Pliocene, more
5 than a million years in age. We have subsequently dated it
6 using radiocarbon techniques, uranium thorium techniques, and
7 thermoluminescent techniques, and have discovered that, in
8 fact, it represents at least deposition in the last cycle,
9 and, depending on the differences in thermoluminescent versus
10 uranium, may also represent deposition in the penultimate
11 cycle.

12 The kinds of fossils that we see in this deposit,
13 in particular, the diatoms, suggest that we're looking at
14 discharge water that is dominated by a sodium bicarbonate
15 composition, and is high in silica, suggestive of water from
16 a volcanic aquifer. Some of the ostracode assemblages also
17 suggest that we're looking at regional aquifer deposition by
18 virtue of high flow and other chemical characteristics.
19 Other ostracode assemblages, which are not in the same places
20 as the diatoms, suggest that we could be looking at water
21 from a perched system as well.

22 So, the fossil evidence suggests that we're seeing
23 both regional aquifer discharge and, potentially, perched
24 aquifer discharge.

25 If we then look at the change in elevation of the

1 water table, as described by Brian Marshal and Zell Peterman
2 and John Stuckless in '93, Jay Quade and a number of others
3 in '95, and if, in fact, we are seeing the regional aquifer
4 at this site, then we're looking at evidence for the modern
5 water table coming up about 115 meters in order to create the
6 discharge at the Lathrop Wells Diatomite.

7 As Zell said a moment ago, there's evidence within
8 the repository block of a similar rise, but the age of that
9 particular rise is unknown, and, as Ike said, aquifers are
10 very complex. Whether or not we're looking at a single
11 aquifer that also rises in response to a climate change
12 within the mountain, as it apparently did for the Lathrop
13 Wells Diatomite is not known at this time.

14 In conclusion, climate change cycles between dry
15 and wet modes. In southern Nevada, the wet modes have
16 existed about 70 per cent of the time. Those wet modes, in
17 some cases, are extremely wet, but, in most cases, are simply
18 something wetter than today.

19 A full climate cycle is about 400,000 years long, a
20 full climate insolation cycle, I should say, and contains
21 roughly 100,000 year subcycles, each having glacial and
22 interglacial conditions. Devils Hole shows the subcycles are
23 less than 100,000 early and are greater than 100,000 years
24 later in the 400,000 year cycles.

25 Climate cycles correlate with orbital parameters,

1 which govern insolation; the key multi-millennial climate
2 forcing function.

3 Past climate-driven hydrologic change serves to
4 estimate change in the future according to the known
5 progression of insolation cycles.

6 Present day dry climate may begin to change towards
7 wet climates in about 1,000 years based on past records.
8 Now, past record is the Owens Lake record in terms of
9 figuring out in insolation terms, where we are today, and
10 when the transition started to occur according to the Devils
11 Hole record; sooner if global warming persists according to
12 some model interpretations.

13 Notably, one model interpretation argues that the
14 formation of north Atlantic deep water could be shut down if
15 we have continued melting of ice and snow at the polar ice
16 caps; and, secondly, a model by Steve Hostetler that suggests
17 that double CO₂ increase results in both higher evaporation
18 and higher precipitation in the Great Basin.

19 Current interpretation of the Owens Lake data
20 suggests the next wet period may not be as wet as the last
21 and penultimate glacial cycles. In terms of simply the
22 magnitude of the Devils Hole record, this is the opposite
23 kind of sigma that you might conclude from Devils Hole.

24 Finally, during the last glacial period, high
25 effective moisture produced a 100 m rise in the regional

1 water tables near Yucca Mountain and supported wetlands and
2 streams throughout the region. Drainage from the Amargosa
3 River, which was apparently a permanent stream through much
4 of the last glacial, helped to support a large permanent
5 lake, about 90 meters in depth, in Death Valley.

6 During the last glacial cycle, within 100 miles of
7 Yucca Mountain, mean annual precipitation--and when we use
8 the term, "mean annual," in terms of the proxy records, we
9 really should be talking about mean century precipitation--
10 likely varied from about 15 to more than 20 inches at some
11 localities between five and six thousand feet, with as yet
12 unknown standard deviation and regional variability.

13 Thank you.

14 DR. DOMENICO: Thank you very much, Rick.

15 Do we have any questions from Board members?

16 DR. COHON: It seems that one of the most important
17 observations and conclusions you made, looking at your page
18 nine, is that Devils Hole record shows southern Nevada
19 climate responds primarily to orbital forcing functions. I
20 would really like to understand the basis for that, and page
21 seven just went by me too fast to catch that.

22 Could you spend a little more time on that? It
23 seemed to me that you were citing the figure on page seven as
24 the primary basis for that conclusion.

25 MR. FORESTER: The SPECMAP originally got started as

1 much to understand climate as it got started to understand
2 the ages of date marine sediments, so SPECMAP, when they
3 found the isotopic variation; that is, the SPECMAP curve
4 shown on the bottom, they made the assumption that is was
5 perfectly driven, and still argue, in some cases, that it was
6 perfectly driven, entirely by insolation criteria.

7 Ike and company came along and actually dated the
8 changes. We have a similar curves that suggests that climate
9 change in the ocean and at Devils Hole are strongly
10 correlated. Ike came along and noted that, in particular,
11 the transition periods assumed by SPECMAP in dash lines are
12 at a different time than that clearly dated from Devils Hole.

13 However, when you look at the basic structure of
14 the Devils Hole record, and if we have perfectly driven--
15 SPECMAP is perfectly driven, Devils Hole suggests that it is
16 imperfectly driven by insolation--the differences are then
17 represented by the differences in those dashed versus solid
18 lines, the differences are not all that great.

19 In other words, although insolation clearly does
20 not drive the entire record, because we have other forcing
21 functions that are involved in climate change, the principal
22 variability of Devils Hole can be correlated, at a minimum,
23 with that of the insolation criteria, because the insolation
24 criteria would argue for perfect driver of SPECMAP, and the
25 two records are relatively close. They are not perfectly

1 close.

2 Is that better?

3 DR. COHON: Yeah. Would you accept the qualification
4 that the orbital driving driver is the primary influence of
5 the long-term, low frequency part of the variability
6 question?

7 MR. FORESTER: Right.

8 DR. COHON: But not necessarily the shorter term?

9 MR. FORESTER: Absolutely not. On the short term,
10 forcing functions are a multitude of things, from oceans to
11 variability to quite a variety of other things, and on the
12 long term, continental drift, mountain building, and so on,
13 are also important, and may well explain why Milankovich-
14 style cycles are operating, as Ike said, in the Triassic
15 without making ice sheets. The long term forcing functions
16 on earth are different. The continents have a different
17 configuration.

18 DR. COHON: So, just extending this, then, but not
19 trying to put too many words in your mouth, you go on to say
20 on page nine that future 400,000 year insolation-climate
21 cycles should be similar to past cycles, and the point you're
22 making there is, again, looking at the long term fluctuations
23 of this sort you just talked about?

24 MR. FORESTER: That's right.

25 DR. COHON: You should expect to see.

1 MR. FORESTER: Similar, and similar is the key word
2 there, not identical; similar.

3 DR. COHON: Right, and it doesn't mean that the next
4 10,000 years should look just like the last 10,000 years.

5 MR. FORESTER: Absolutely.

6 DR. COHON: Okay. Thanks. I just wanted to clarify
7 that.

8 DR. DOMENICO: John Cantlon, Board.

9 DR. CANTLON: For the interest of the repository, this
10 paleoclimate needs to be thought of in terms of what the
11 behavior of the specific site will be, and you talked about
12 increasing moisture and increasing cold, but when one looks
13 at infiltration in a particular site over the repository, the
14 depth of snow, the distribution of snow as opposed to
15 rainfall is one of the important variables.

16 Do you have any feeling of what the snow picture
17 would be like?

18 MR. FORESTER: Yes, and I meant to mention that when I
19 had the midden tree diagram up.

20 Both of those tree types, and a number of other
21 plants in those records, suggest that an important form of
22 precipitation during that time frame was the snow, and,
23 indeed, that, quite likely--this is Jeff's words, not mine--
24 snow may exist at lower elevations much farther into the
25 season than it does today. Snow pack would be substantially

1 higher than it is today, would be at lower elevation, and
2 might persist all the way into the late spring, early summer
3 season, so the potential for snow and snow infiltration is
4 large during portions of the glacials.

5 DR. CANTLON: And the important variable there is that
6 snow is not uniformly distributed over a topographically
7 variable surface. You have deep drifts that persist well
8 into the summer, putting infiltration into specific sites, so
9 that as one begins to think about the hydrology of the
10 repository, the snow depth may be the most important variable
11 in the out years.

12 MR. FORESTER: Yeah, and I think that's consistent with
13 what Alan said yesterday. It's important to note the kind of
14 precipitation, the timing of it, and the associated
15 temperature in terms of the infiltration, and, yes, I think,
16 again, when ice volume is maximal, which is not a lot of the
17 time, there is a good potential for high snow pack,
18 persistent well into the late spring, summer seasons in this
19 area.

20 The kinds of precip that are likely to occur in the
21 next 100--again, using insolation as a guide--may be far more
22 seasonal, representing summer rain, as well as winter rain,
23 perhaps, rather than snow.

24 DR. DOMENICO: Any questions further from the Board?
25 From the staff? Ike, go ahead.

1 MR. WINOGRAD: On page nine, again, the same item that
2 you had, Rick, first bullet, Devils Hole responds primarily
3 to orbital forcing, I think one other thing needs to be said.

4 You recall, in John Embry and 19 others Magnum
5 Opus, December, 1993, Paleoceanography, they went through a
6 series of models, and these curves that you have seen, the
7 SPECMAP curve, the Devils Hole curve, the Vostok curve, in
8 that wonderful summation of Embry's retirement project, a
9 wonderful paper that summarizes all the different models that
10 had been proposed to explain these curves, and they can be
11 explained giving a major role to insolation, as one end
12 number. They can be explained, as Barry Salzman did years
13 ago, without insolation at all, or something in between, so
14 you have a choice of models.

15 So, to the degree that SPECMAP can be explained
16 with these various models, so can Devils Hole be explained
17 with the various models, and the role of insolation may be
18 major, may be minor, or may not be present.

19 MR. FORESTER: And if insolation is not a major goal,
20 then our capacity to try and predict or forecast future
21 conditions is greatly hampered.

22 DR. DOMENICO: Any further comments?

23 DR. PARIZEK: In talking about the El Nino, talking
24 about maybe a 1,000 year mega cycle, because according to
25 Alan Flint yesterday, that was a critical part of his whole

1 recharge data requirements. Can you say a little bit more
2 about the mega El Ninos that the white fir suggests?

3 MR. FORESTER: I used the El Nino to draw attention to
4 what white fir represents in terms of a circulation mode.
5 Quite likely, the circulation in that time frame is directly
6 a result of polar front storm tracks coming in from the
7 southwest. It is not an El Nino, but it would behave, in
8 terms of moisture delivery, in an analogous way to what the
9 El Nino appears to do in today's world for infiltration.

10 Quite likely, if, indeed, the central Pacific Ocean
11 is cooler in the Pleistocenes, there probably aren't El
12 Ninos, or they're very, very mild compared to a warmer world.

13 DR. PARIZEK: But still, more precipitation to have the
14 fir?

15 MR. FORESTER: Yes, yes, but it's more related to a
16 precipitation style, not amount. It is associated with the
17 arboreal forests today.

18 DR. PARIZEK: The other question about the Corn Creek
19 Flat marsh deposits, did I understand you to say that
20 precipitation is implied to be 400 to 600 millimeters?

21 MR. FORESTER: In a paper in '94, that was the
22 interpretation I came to, and I thought at the time, because
23 I thought the water was basically still standing on the
24 valley bottom, that that number applied to the valley
25 bottoms.

1 I now realize, in further analysis of that data and
2 more data, that, in fact, the water is flowing continuously.
3 The consequence of that, for the mode by which I arrived at
4 precipitation numbers, would demand that four to six hundred
5 millimeters be up on the mountain face, not on the valley
6 bottom, so the valley bottom would be less than 400. Four
7 hundred for the valley bottom in Corn Creek is about four
8 times modern, so mean annual precip, or mean century precip
9 at Corn Creek and the valley bottom would be less than four
10 times in that time frame; likely double.

11 DR. PARIZEK: If you have a shallow water table, you
12 could also have swamp deposits independent of the rainfall,
13 but you need rainfall to get a swamp deposit to come from
14 runoff from the mountains?

15 MR. FORESTER: No. The way I interpret the climate is
16 not dependent on the relative rise of the table, but, rather,
17 the chemical and thermal characteristics of that water.

18 DR. DOMENICO: Are there any further questions from
19 staff members?

20 The schedule calls for a break at this time, and
21 let's take a thirteen-minute break and be back at ten minutes
22 after ten.

23 (Whereupon, a brief recess was taken.)

24 DR. DOMENICO: It's time to continue these climatic
25 discussions. Can we reconvene, please?

1 Our next presentation will be from Stan Davis,
2 giving us some perspective on paleohydrology.

3 Stanley?

4 MR. DAVIS: I'll give about half a minute yet for people
5 to sit down.

6 For those of you that have picked up the
7 duplication of the overheads that I prepared, I want to shift
8 the blame for the postage stamp-size reproductions onto the
9 new Denver International Airport. I was faced with the
10 problem of trying to hand-carry my heavy luggage, and to
11 avoid the highly-publicized baggage shredder, so, taking a
12 clue from corporate America, I resorted to down-sizing, so
13 that's what you have.

14 In preparation for my talk, I was given only three
15 small reports; one by Paces, and one that came from the USGS,
16 and I don't know who the authors were. These two were on
17 uranium and its use, and then the third was one by June
18 Fabryka-Martin and others concerning the use of primarily
19 chlorine-36, so my remarks that are related to the Yucca
20 Mountain site are related to these three reports, and I will
21 make, also, some very general remarks.

22 A common trap that we fall into in considering the
23 use of radionuclides in hydrogeologic studies is to delude
24 ourselves into thinking that we can date water. With the
25 exception of the use of tritium, this is impossible. We are

1 studying radionuclides, not the water, and we can only say
2 something about the history of the water if we know the
3 relationship between the history of the radionuclides and the
4 history of the water.

5 Fortunately, the authors of the reports that I
6 looked at, didn't fall into this trap, but it's one that's
7 very prevalent.

8 First, I want to touch briefly on uranium and
9 thorium, and I'll move over to the overhead. This is an
10 outline, briefly, of what I'm going to talk about. I'll just
11 barely touch on uranium, because we're going to have some
12 presentations, I'm sure, that will cover in great detail some
13 of the aspects of uranium. I'll spend most of my time on
14 chlorine-36.

15 However, I wanted to put up a very simplistic
16 diagram concerning the use of uranium as a dating technique,
17 and I'll point out one thing. Again, the authors, Paces and
18 the other authors of papers I read did not do what I'm going
19 to talk about. They did not make certain assumptions, but I
20 want to make sure that these assumptions are identified.

21 In a very simple-minded manner, this is what we're
22 dealing with in uranium dating. One would be to look at the
23 disequilibrium between ^{234}U and ^{238}U in the active zone soil
24 and below in the oxidizing region. We have a tendency to
25 selectively expel uranium-234 from the minerals, and so you

1 initially have some ratio of activity. These are activity
2 ratios and not mass ratios.

3 So, the activity ratios, to begin with, are at some
4 high value due to alpha recoil and a number of other reasons,
5 and this initial value may vary quite a bit. It's quite a
6 problem to determine some reasonable initial value, but,
7 then, once the mineral is precipitated, you consider it as a
8 closed system, and, eventually, after a few hundred thousand
9 to maybe two or three million years, you approach very
10 closely an activity ratio of one.

11 On the other hand, if you start out and precipitate
12 mineral, the thorium has such a low solubility, that you
13 assume that thorium is virtually absent, and you are simply
14 precipitating uranium, and you start out with a very low
15 activity ratio of thorium and uranium, both being--of the
16 thorium being the second moderately long-lived decay product,
17 then, after awhile, it'll approach one, so we can use this
18 curve, or the deviation from this ratio as a variable related
19 to age, or the date at which the mineral was deposited, or
20 opaline, in the case of opaline deposits.

21 Now, the thing that I wanted to mention here was
22 the fact that we don't really know anything about the
23 distance of travel of water that may be associated with this
24 deposition, nor do we know anything about the travel time
25 from looking at the mineral itself.

1 Now, the studies that have been made--and I would
2 add that they're most impressive studies, scientifically, as
3 well as in a practical vein--that these studies that were
4 made included a lot more than just analyzing the uranium and
5 thorium, so what we can say is far more than what I've just
6 said. You have the age or the date at which the mineral has
7 been formed, but from the mineral itself, you don't know
8 where the water came from, you don't know how fast it came.
9 You can't say much about the hydrologic system from that
10 alone.

11 Of course, from other studies, from the shiny
12 surfaces on the minerals, and so forth, very valid and
13 reasonable conclusions can be drawn concerning some of these
14 more important things.

15 I wanted to go on and spend most of my time on
16 chlorine-36, and just very briefly touch on the origin of
17 chlorine-36.

18 We have four major mechanisms by which the
19 chlorine-36 is produced in the atmosphere. It's primarily
20 spallation of argon-40 by primary and secondary cosmic
21 particles. In the land surface, right at the surface, within
22 a few centimeters of the surface, we have several processes
23 that go on; activation of chlorine-35, a negative neutron on
24 calcium-40, and a neutron on potassium-39.

25 Then, in the deep subsurface, if we have an ore

1 deposit where there's a concentration of neutrons due to
2 alpha n reactions, then the primary reaction is activation of
3 chlorine-35 by thermal neutrons. It's very efficient. The
4 cross-section here is quite large, and so, we have this as
5 the primary production mechanism in the deep subsurface.

6 Now, one question is, what is the, or what would be
7 the expected background on chlorine-36 if there were no
8 anthropogenic sources? It's a very complex question. It's
9 one that I'm involved in right now. We're making
10 measurements and trying to work out some of the variables
11 involved.

12 This is a very rough preliminary map, and the
13 points here are two types; one, the open circles would be
14 shallow, or fairly shallow groundwater where the chloride
15 content is extremely low, and where there is no large amount
16 of tritium, indicating recent recharge, but there is still a
17 fair amount of carbon-14, indicating that we are in, say, a
18 period less than 10,000 years old as far as the recharge of
19 the water's concerned.

20 Using those criteria, you eliminate most of the
21 chlorine-36 determinations that have been made throughout the
22 country, and you're left with just a scattering of data
23 points here.

24 The thing that's of most interest here, we wanted
25 to check June Fabryka-Martin's assumption of about 500 as

1 being the ratio between chlorine-36, the numbers of atoms of
2 chlorine-36, the total number of atoms of chlorine, and she
3 used, as I understand, 500×10^{-15} as being the ratio here.

4 Well, the data that I have--these are soil column
5 data, these are groundwater data--they seem to fit quite well
6 with this assumption, so, say, three or four hundred years
7 ago, we would expect, from atmospheric precipitation, we
8 would expect this ratio of around 500×10^{-15} .

9 One reason why we want to look at only the very low
10 chloride content waters is that very commonly, we have
11 sources other than precipitation, where we are dealing with a
12 mixture of some kind. We're not dealing with only
13 precipitation. This is why I bring out the very important
14 fact that we're looking at the history of chlorine-36. We're
15 not looking at the history of water, and we have to relate
16 the two eventually, or we should, in order to draw useful
17 conclusions, but we have this basic problem.

18 These are unpublished data given to me by the USGS,
19 and these are data from northeastern Arizona, roughly at the
20 same latitude as the Nevada test site.

21 You can see the data points from groundwater here
22 follow almost a perfect mixing line, with a few scattered
23 points out here. What we're plotting is the amount of
24 chlorine-36 related to the total stable chlorine $\times 10^{-15}$ on
25 the horizontal scale, and on the vertical scale, we have

1 plotted the total chloride. So, to get some idea of what the
2 rainfall would be, or the snowfall in the area, you have to
3 look at these values down here, not these other values that
4 have chlorine from other sources; namely, here, it would
5 probably be Mesozoic salt beds that affect the regional
6 amount of chloride in the groundwater.

7 Now, to sort this out, we can use bromide.
8 Bromide, geochemically, is almost, not quite, identical to
9 chloride in its chemical behavior, and it so happens that
10 precipitation, in general, has a fairly low chloride to
11 bromide ratio. This is a mass ratio now, and we have values
12 that generally range between about 50 and 150, in that range
13 for normal precipitation, and if we go into an area where
14 there are other sources of chloride, very commonly we get
15 values that are considerably higher, and up in the range of
16 several thousand as the ratio between these two elements and
17 the water.

18 So, this dotted line here that I have is a
19 hypothetical mixing curve. The red lines or red crosses are
20 the values, median values of several score--in each case,
21 each point represents about 15 separate analyses grouped
22 together, so we have here a fairly good fit, suggesting that,
23 indeed, in this place in Kansas, we have this mixture
24 problem, and if we're going to look at chlorine-36, which
25 they haven't done as yet, in that area, we have to go down

1 here in a very low value of chloride, which is the horizontal
2 scale.

3 Unfortunately, in some areas, we have sources that
4 are mixed in that are almost at the same level as
5 precipitation, and here, our Milk River values are a case in
6 point, so this method of sorting things out is not always as
7 useful as we've indicated on these two curves. The one for
8 Tucson here indicates a concentration by evaporation first,
9 and then a mixing effect later, and, here, the cutoff is
10 about 40 mg/L. Here, the cutoff for the precipitation source
11 is somewhere below 10 mg/L.

12 I want to now turn to what might be expected in
13 various anomaly sources. Oh, I would add that in the Yucca
14 Mountain, as I understand it, bromide was added in copious
15 amounts so that the ratio was vastly altered, so that water
16 introduced into the operations then could be identified and
17 separated from the water existing in the rocks.

18 These are just some samples, and these are values
19 that are from soil column tests, and all I'm saying here is
20 that we have a sufficient input from bomb fallout, which
21 started in the very late 1950s, actually, late part of 1952,
22 and extended on through about 1960.

23 This fallout residing in the soil gave rise to
24 these pretty high ratios. Now, I was just talking to June
25 Fabryka-Martin before the talk here, and she says that some

1 of the values here are far above the soil values, some of the
2 values in the rocks along the fractures.

3 One interesting thing that we'll come back to is
4 that in the stratosphere, we have, in some cases, relatively
5 high values for chlorine-36, and, of course, it gets into the
6 troposphere seasonally, in various amounts, and so, we do
7 have a source of chlorine-36 that's variable with
8 precipitation.

9 I've stuck in a couple of values from--this is some
10 of June Fabryka-Martin's work in Australia, and this is
11 simply the ratios found in the solid ore itself, indicating
12 the importance of ore deposits, in some cases, as a source of
13 chlorine-36.

14 Lastly, I show just two values for the activation
15 of potassium, calcium, and chlorine in surficial rock
16 materials, indicating that you can get up to fairly high
17 values if these objects are at the land surface and receive a
18 continuing bombardment of secondary cosmic ray particles, and
19 you can then generate moderately high values.

20 Now, I want to next go to the data that were
21 presented from the studies in the tunnel at Yucca Mountain,
22 just to show that the largest number, of course, as stated in
23 the reports, are fairly low values, most probably
24 representing some background value.

25 However, there are some values that are very high

1 in comparison, and do suggest very strongly that we have bomb
2 pulse materials that have reached the level of excavation
3 along fracture and a permeable zone. These colors are almost
4 meaningless. This indicates that there may be some question
5 here in these two, but I don't think there's any question
6 that we have a very strong anomaly here, and these are more
7 or less normal values that one might expect.

8 Now, I want to go into a little bit of philosophy,
9 and it's something that is sorely lacking in a lot of the
10 work that's done in relation to evaluating potential sites
11 for waste deposits. This is the famous Ockham's razor. The
12 idea is that you just don't introduce a lot of complexity
13 unless you have to. That's one way to say it.

14 A doctor once told me, in diagnosing something,
15 that if you're in the west and you hear hoofbeats outside,
16 and you can't see what's out there, you don't assume that
17 it's a zebra, you assume that it's a horse, and the idea is
18 that we're looking at things that are probable, and we don't
19 reach out and look for little green men from Venus or
20 something to do our job for us.

21 With that, then, we're going to violate what I've
22 just said, and we'll go to some fantasies. The question is,
23 of course, where do these anomalies arise? Are they really
24 from bomb fallout or what? And I've pondered these
25 questions. They're related to the kinds of research that I'm

1 doing, and I don't think that I've reached any really
2 successful conclusion in my own mind.

3 However, in terms of probabilities and importance,
4 I think the testing of atomic explosives is really the cause
5 of most of the large anomalies that are being measured.

6 We do have past fluctuations of cosmic ray
7 production. These are documented in a number of ways.
8 They're documented in relation to Carbon-14, and the picture
9 is emerging that perhaps there was the pre-anthropogenic
10 chlorine-36 in precipitation back more than 10,000 years ago
11 may have been more than double what it is today, so we have
12 this as a real possibility.

13 In situ natural production, I showed the values for
14 ore deposits. We don't know, as far as I know, there are no
15 ore deposits in the vicinity of Yucca Mountain. It might pay
16 to scan very carefully some of the gamma logs just to double
17 check, particularly if we have zones that are more than a
18 meter thick. We might possibly find some zones that have
19 sufficient uranium and thorium to produce fairly large
20 anomalies, but, then, I think we're getting off into Fantasy
21 World already.

22 Dissolution of surface rocks. I'll come back to
23 this. There is sufficient chlorine-36 being produced in the
24 upper sort of skin of the earth to account for some of the
25 anomalies, but one has to go through a very imaginative set

1 of assumptions in order to reach any values of interest.

2 Variation in total chloride deposition. This can
3 be very important, and I showed you the data from
4 northeastern Arizona, indicating that, in that case, the
5 amount of dead chloride mixing in greatly altered the ratios
6 that we had.

7 This I will come back to, No. 6, variations of
8 chlorine-36 in the troposphere, as measured mainly by samples
9 of rainfall.

10 Atomic reactor sources, I don't think this is
11 important. It has been measured near the Idaho facilities,
12 also, Savannah River, anomalously high amounts of chlorine-36
13 being present. However, if we get this as an origin for the
14 anomalies that are measured in the subsurface, this is
15 practically the same in terms of travel time as we would have
16 with bomb fallout.

17 Contamination of the sample. In our early work, we
18 had some samples from Australia, from the Lucas Laboratory,
19 and we thought we had found the world's greatest ore deposit
20 for uranium. It was actually some contamination, but this is
21 handled through normal procedures and analytical problems,
22 and so forth.

23 Gas transport. Now we're getting off into real
24 fantasy, but gas transport might be possible. There are
25 volatile types of chemicals, such as carbon tetrachloride,

1 that contain chlorine, and if they're activated, then you
2 could have chlorine-36 in the gaseous form. Where this comes
3 from, I'll leave it to your imagination, but, anyway, gas
4 transport, physically possible, unlikely.

5 And the last item, we have, in the literature, a
6 suggestion by a Japanese scientist that we could find the
7 anomalies related to prehistoric super nova when we add very
8 large impact of cosmic ray particles activating chlorine, and
9 this has not been followed up. I don't think it's taken
10 seriously by anybody, including myself.

11 So, here we have a list of possible origins, ideas.
12 The anomalies that we find may be related to some of these
13 factors, but I think the one on the top is the important one.

14 I want to just put on just a wild estimate that I
15 made with some assumptions. These assumptions, all of them
16 would tend to produce more chlorine-36, I believe, than
17 actually would take place. We assume that the rock has 100
18 mg/kg chloride. That's the content. The chloride in the
19 rock has been activated. It's right at the surface, and the
20 ratio is 10^{-11} , which is higher than any of the published
21 ratios that I could find, but not a great deal higher.

22 The available water is very large, so that we have
23 to assume some sort of surface runoff, and the water going
24 down may be in a low depression. The inwash cancels erosion.
25 That's a tricky one. That's simply to mean that we are not

1 reducing the land level. We're not taking the surface off.
2 We're inwashing stuff as we take it out by dissolution, and
3 then we assume that the dissolution produces water with 100
4 mg/L total dissolved solids from the initial value of
5 rainfall, which would be close to zero.

6 And then, lastly, we assume that the precipitation
7 has .5 mg/L of chloride, and that the ratio is the value that
8 June Fabryka-Martin has assumed.

9 The results. We get a fair amount of chlorine-36
10 going down, and perhaps about a third of what would come down
11 from the rainfall itself. These values are off some way. I
12 couldn't adjust them. I couldn't juggle them enough to come
13 into a closer agreement with a possible fallout of 10^5 atoms
14 of chlorine-36 per centimeter per year. I don't know whether
15 this value is any good or not. Somebody can correct me
16 afterwards on that.

17 But, the sum total of this is that if you really
18 strain yourself and go after things that aren't very
19 probable, then you might possibly get a slight anomaly. I
20 don't think that dissolution of surface rocks would answer
21 our question. There may be people that are more nimble with
22 figures than I.

23 Okay. This is simply a diagram indicating what may
24 happen. We have data on precipitation. The data on
25 precipitation are ambiguous. There's a lot of instrumental

1 scatter because of the low concentration of chloride, and
2 there is a suggestion, however, that the chlorine-36 has a
3 seasonal pattern, and we do know that there's about a tenfold
4 difference in between the amount of chlorine-36 in the
5 rainfall, according to various times of the year and times of
6 storm, and so forth.

7 And, if one looks at the tritium values, where we
8 get a definite cyclical effect due to the exchange between
9 the stratosphere and the troposphere, and assume that
10 something is happening with chlorine-36, then we might say
11 this is a seasonal variation, with maybe a peak in the late
12 spring here, or something like that.

13 Now, what does this possibly mean? It means that
14 we may get an infiltration into the subsurface that is not
15 related directly to the average composition of precipitation,
16 and that may vary from place to place. This would be due to
17 --the simplest would be to think in terms of a more colder
18 climate where we have a frozen ground, and the initial runoff
19 from melting snow would simply take that water out from the
20 region.

21 It would not become recharged, so that we can
22 selectively recharge at certain times of the year, depending
23 upon storm intensity and a number of other variables, so that
24 we're not putting in the average here. We're putting in
25 maybe the peak value or the trough value, and so there is

1 this microhydrology in the surface that might affect the
2 chlorine-36 in the subsurface.

3 Now, some surfaces, such as a nice talus slope,
4 might capture everything, so here we would get the average;
5 here, we would not. So, that's a variable that needs to be
6 assessed, at least kept in mind.

7 Well, what I've tried to do is to give you a
8 glimpse of the variables involved in using chlorine-36. I
9 certainly don't think that I've really answered too many
10 questions, but at least, I hope, it's food for thought.

11 Thank you.

12 DR. DOMENICO: Thank you, Stanley.

13 Any questions from Board members? Don Langmuir.

14 DR. LANGMUIR: Stan, I was thinking about Al Yang's
15 observation that you have higher chlorides in the unsat zone
16 than you find in the sat zone, and wondering whether that--
17 maybe June has to speak to this, maybe this waits until
18 June's presentation, but the age dates in the unsat zone that
19 I've seen have been tens of thousands of years, and I didn't
20 recall anything that you could call bomb pulse in the unsat
21 zone collected from surface borings, from the surface
22 sampling.

23 Is there any connection there?

24 MR. DAVIS: Don, I have to dodge the question because I
25 don't have information specifically for the Yucca Mountain

1 area. I'll answer it in a very general way, however.

2 The profiles that I've helped do, and that my
3 students have done in other areas will show an accumulation
4 of chloride in soil; now, not in rock settings, but in soils,
5 so you have an accumulation of chloride that indicates that
6 there's very little through infiltration in the arid, say,
7 the alluvial fan materials, except in the channels, of
8 course.

9 But, by taking some reasonable amount of chloride
10 per year and doing some calculation, you can pretty much show
11 that these chloride accumulations represent thousands of
12 years, and the bomb pulse doesn't go down very far, maybe one
13 or two meters. You can pick the bomb pulse out and then,
14 below that, in some cases, at least, you have a fairly
15 constant value.

16 DR. LANGMUIR: I have another unrelated question. You
17 raised the possibility of carbon tetrachloride, and I was
18 just chatting with my colleague about it being used to clean
19 old TBMs, perhaps, machinery at depth. Is it possible that
20 you could get contamination from carbon tetrachloride,
21 specifically, in the ESF, I wonder from--this may be not for
22 you, but for those in the program that are familiar with the
23 construction industry, and Garry's pointing at Ed; whether Ed
24 Cording would have a thought on whether there's carbon tet as
25 a possible contaminant in the tunnel.

1 DR. CORDING: I don't know of it being down in the
2 tunnel. Rick's not here. I'm not sure they'd be cleaning it
3 with that, but I really don't know what they have there. I
4 wouldn't think they'd have it, but...

5 MR. DAVIS: All I'm suggesting is that there might
6 possibly be a volatile compound that would have chlorine-36
7 in it that would arise from activities at the Nevada test
8 site.

9 Now, I've been associated one way or another with
10 the Nevada test site for, since the Year One, almost, and I
11 have not run across anything that would give substance to
12 this suggestion. It's just one of those wild things that I
13 hope that I dismissed in my comments.

14 DR. LANGMUIR: And chlorofluorocarbons, CFCs would also,
15 perhaps, be another way to do this, wouldn't they?

16 MR. DAVIS: If they're present in a high neutron flux
17 area and get into the atmosphere, yes, but I don't know of
18 any--I don't know enough about some of the operations that go
19 on to say whether this is even a remote possibility. It
20 might just be the zebra in Wyoming. I don't know.

21 DR. DOMENICO: I think the time constraints on us tell
22 us that we should move on. Thanks very much, Stan. We'll
23 get some more questions back at the open table.

24 We're now going to hear on the paleohydrology,
25 especially, dating the calcite and opal deposits in the ESF

1 by Zell Peterman and James Paces, USGS.

2 MR. PETERMAN: Before they put the Alpine miner
3 underground, it was covered with a lot of muck from its
4 previous usage, and they cleaned it with wire brushes and
5 compressed air. As far as I know, there were no solvents. I
6 think they're pretty careful about what they put in the ESF,
7 at least that's my impression.

8 The key words here--well, let me say, first, Jim
9 Paces, my colleague, and I flipped a coin and he lost, so I
10 get to make the presentation and he gets to answer the
11 questions.

12 The key words in the title, of course, are
13 paleohydrology, age control, and ESF, and, as Dennis Williams
14 mentioned yesterday, a large part of this study would not
15 have been possible using samples from boreholes, because the
16 fragile accumulations of calcite and opal in the ground mass
17 were destroyed by the--when they were encountered by
18 drilling. They just didn't survive.

19 We did invest some time on dating occurrences from
20 drill core, and those results are probably always biased
21 towards the old side, because the younger, delicate materials
22 were, in fact, removed.

23 We've heard repeatedly at the meeting the last day
24 and a half that one of the remaining key technical issues at
25 Yucca Mountain is to try to understand how much water moves

1 through the repository block, and, basically, the work we're
2 doing is directed towards that. We're trying to provide a
3 time framework, and isotopic understanding of the deposition
4 of these minerals that occur in fractures and cavities in the
5 repository block.

6 Pat, I think that geologic axiom you're search for
7 is the present is the key to the past, but I like yours
8 better, the past is the key to the future, and I think that's
9 more appropriate for the type of work we're doing. The only,
10 really, chance we have, we can understand the present day
11 system, and it's absolutely essential that we do, but it's
12 only a snapshot in time. We're never going to be able to
13 observe the future, and all we can do is look at the past
14 records and try to understand how those may relate to the
15 future.

16 This is just a definition of paleohydrology I
17 liked, and, of course, I agree with Chapman and McEwen's
18 statement at the bottom there, that you have to understand
19 the paleohydrology and the paleoclimate--the two are
20 inextricably linked--in order to come up with any credible
21 performance assessment.

22 In the rock mass at Yucca Mountain, there are
23 paleohydrological records, and elsewhere, too, not only in
24 the rock mass. The ones we're worrying about are the number
25 one, it says here, low temperature mineral deposits, mainly

1 calcite and opal, in fractures and cavities. Other types of
2 paleohydrological records, you've heard about ancient spring
3 deposits from Mike and Rick this morning, and, of course, the
4 lake and playas, alteration zones in the rock mass that may
5 relate to past alteration.

6 That last one is just a conceptual thing that I
7 stuck in there, and I'm not aware of any perched water that's
8 in the repository block that relates to past high water
9 stands, but, of course, it's a possibility.

10 The dating program that I'll describe had been
11 going on at a fairly modest level, and in November, this last
12 November, Yucca Mountain Project decided to accelerate the
13 dating, and it was a two-pronged effort. Los Alamos was
14 instructed to increase its chlorine-36 dating in the ESF, and
15 we were instructed to increase our uranium series, Carbon-14
16 and isotopic studies in the ESF.

17 It wasn't just something that, you know, just
18 randomly happened. The idea was that we knew we had the
19 physical records of deposition, the calcite and fracture
20 filling; whereas, the chlorine-36 people could extract the
21 pore salts, which represented the pore waters in the rock
22 mass, and so, a part of this dual approach was if there were
23 zones where there was fluid flow but no physical deposition,
24 then that would be picked up, or possibly picked up by the
25 chlorine-36 work, so these were mutually-supportive

1 approaches.

2 The objectives of both studies, I think, one major
3 objective, of course, is to come up with some sort of
4 estimate or some sort of bound, independent bound on the
5 amount of water passing through the block.

6 Now, yesterday, we heard--I sort of kept track of
7 the estimates. If we take Ed Kwicklis's minimum estimate and
8 Alan Flint's maximum, you know, we had six orders of
9 magnitude range in percolation and infiltration. I am 100
10 per cent confident that we can hit that target. I think we
11 can do better.

12 Our primary data gathering objective is to produce
13 a credible time framework of deposition, and in terms of the
14 calcite and opal, to relate their ages and isotopic
15 attributes to what may be happening at the surface of the
16 repository block.

17 The materials that we have to work with, as I said,
18 are calcite and opal. Calcite's simply calcium carbonate,
19 calcium and carbon both being major constituents, major ions,
20 bicarbonate, major anions and cations, and in any of the
21 waters, and then opal, which is a hydrated silicon dioxide,
22 more or less, amorphous mineral.

23 These minerals are common at Yucca Mountain. They
24 were deposited from water in the unsaturated zone. The
25 important thing is that they contain information about their

1 times of deposition. They contain uranium; therefore, we can
2 do uranium series dating. They may contain Carbon-14. We
3 can do Carbon-14 dating, and they contain isotope
4 systematics, which give us information about the waters from
5 which they were deposited.

6 And then, finally, the mass of calcite and opal per
7 unit volume of host rock is in some way related to the past
8 water flux. It's just going to be somewhat difficult to
9 determine that connection. The depositional rate is equal to
10 the flux rate times some complex function. We don't fully
11 know what that complex function is yet.

12 I'm going to give the conclusions right up front,
13 and then if I run out of time, I can shut down and still we
14 will have talked about these. I guess these should really be
15 preliminary conclusions, because the study is only partially
16 through.

17 We have been meeting and collecting with the Los
18 Alamos group ever since the work started, and I think,
19 collectively, we've come up with this concept; the chlorine-
20 36, U-series, and Carbon-14 actually, in a very large scale,
21 indicate a dual permeability system at a large scale, and
22 that basically is the paths. There fast pathways where we
23 see bomb pulse chlorine-36. These appear to be, at least in
24 some areas, related in maybe a complex way with fault zones,
25 and then there's sort of everything else, and that's where

1 our information comes to bear, and in this everything else,
2 we see a very slow deposition, and we would say very low
3 percolation.

4 We get uranium ages, the youngest is 37,000 to
5 greater than the range of the method. Carbon-14 ages, 16,000
6 to greater than the limit of the method, and in these zones,
7 June sees her background chlorine-36/chloride ratios. So
8 those are really two very critical conclusions.

9 There are some lesser order conclusions which we
10 think are important in terms of understanding the style or
11 mode of percolation. One of these is that we never see any
12 evidence that the fractures that were carrying the water were
13 ever filled with water. The deposits are always on the
14 downhill side. Gravity did, indeed, work in the subsurface,
15 and if these fractures and cavities that would have been
16 filled, we would expect deposits, say, around lithophysal
17 cavities and on both sides of fractures, and we don't see
18 that.

19 Information that we have from the dating work says
20 that depositional rates were exceedingly slow, micrometers
21 per thousands of years, indicating to us a low flux.

22 Mineral textures suggest to us that these are low-
23 volume water films migrating down fracture surfaces and into
24 cavities, and, finally, tracer isotopes indicate some
25 modification of the infiltrating waters, but still give us a

1 connection with surface conditions.

2 Now, we've had a number of collecting trips to
3 Yucca Mountain, and, of course, when we collect, we also
4 observe these features, and we think there are some very
5 important physical observations that we've made, and some of
6 these were just embodied in the previous slide on
7 conclusions.

8 You generally see in deposits in fractures or
9 cavities with significant openings. You don't see very many
10 thin, very thin fractures that are full of calcite. You see
11 a lot of thin fractures. A lot of them are high temperature
12 fractures, and they date back to the cooling of the rock, and
13 they have little thin, white veins, but those are high
14 temperature minerals.

15 Oftentimes, you can trace a single fracture across
16 the wall of the ESF, and it will vary in terms of openings.
17 The narrow intervals will have little mineralization,
18 whereas, the wider zones are mineralized, and they occur on
19 the lower sides of the openings. Deposits tend to be thicker
20 and more complex on low angle features, and we never seem to
21 see any high water marks that would indicate standing water
22 in these features.

23 So, we figure that these observations tell us
24 something about what was happening. As I have mentioned
25 before, and as Dennis mentioned yesterday, the deposits are

1 very complicated, very delicate, often very delicate.

2 Now, this particular specimen, this photograph was
3 taken under ultraviolet light, so the opals, which may have
4 50 to 300 ppm uranium, fluoresce green, and the calcites are
5 not as flamboyant. They fluoresce kind of a soft blue, but
6 this is a very interesting specimen. This specimen was
7 donated to us by Clark County, but it does have a USGS QA
8 pedigree, so that's sort of a private joke, but Englebrecht
9 understands it.

10 These are thin stocks of calcite, with what our
11 people have been calling suckerhead calcite, or these
12 enlargements at the surface, and then there's these little
13 droplets of opal on top of the calcite, and Jim and his
14 group--and if I didn't say so already, this is very much a
15 team effort, and there are about eight people that are
16 heavily involved in the dating work and the isotope tracer
17 work, and I think most of them are here today, and I just
18 don't have time to mention names, but they're all sitting at
19 various places out here.

20 Anyway, Jim tells me that they've got about five
21 ages now on this particular specimen, and there seems to be
22 about 200,000 years of depositional history embodied in these
23 different parts of these very delicate features, delicate
24 mineral accumulations.

25 As you look at these things in even greater

1 magnification, they only become more complex, and these are
2 SEN photographs of one of those little calcite stalks. This
3 is the scepter head, and then it's sort of lying flat now.
4 It's been broken off. This is calcite. These are SEN
5 photographs. That's a millimeter, 100 micrometers, and so
6 forth calcite. There is a layer of opal here, and then, on
7 top of that opal, there is new calcite growing in these
8 little euhedral crystals.

9 This is the contact between some of this calcite
10 and the opal substrate, and then this is even a greater
11 magnification here, where you see little spheroids of opal
12 residing in these little holes in the calcite, so,
13 exceedingly complicated. We'll never be able to sample at
14 this scale, but, nonetheless, very interesting, and certainly
15 fascinating.

16 Sampling is a problem. We have to microsample.
17 People sample under the microscope using little dental picks,
18 or dental-type drills.

19 As you saw in that previous slide, there's a
20 submicron growth layering, or a very, very complex growth
21 layering, so our age resolution is limited by the sample size
22 we need.

23 We can get away with 10-20 mg for Carbon-14 of
24 calcite. Calcite is very low in uranium, so it takes quite a
25 bit more calcite to get a uranium series age. The opals are

1 much higher in uranium, as I said, 50-300 ppm uranium, and
2 they've pushed the technology down to as small as a tenth of
3 a milligram, so, the smaller sampling equates with greater
4 and better age resolution.

5 We have come to the conclusion, over the months
6 now, looking at a lot of these, dating a lot of these, that
7 even the smallest samples probably integrate over finite
8 intervals of growth history, and, therefore, yield some sort
9 of composite age. We're not dating discrete depositional
10 ages, but we're getting composite ages. Nonetheless, the
11 depositional histories can be established by these composite
12 ages.

13 Here's another nice specimen. Maybe it's part of
14 the same one. I'm not sure. This is a different occurrence.
15 These are little blades of calcite, up to a centimeter long.
16 One of the few types of occurrence which apparently shows
17 some growth banding, which is hard to see in here, but there
18 are these very discrete bands, but, apparently, they
19 represent very long intervals of depositional time.

20 The ages that have been gotten here are the
21 outermost part, and in order to get enough calcite for
22 uranium series, these had to be composited, so a number of
23 blades were broken off, and then these pieces were combined
24 into single samples; 75,000 years on the outer part, the
25 older part of calcite, 254,000. There are opal bubbles in

1 here, or occurrences in here that get 96,000, so, here, this
2 gives you an idea of the growth rates, and that's why we say
3 very slow growth rates. Everything that we've done to try to
4 pull these apart, we have to conclude that the growth rates,
5 the depositional rates are exceedingly slow.

6 These are histograms of the databases that exist
7 right now. The upper one is Carbon-14, the lower one are
8 uranium series ages. There's no difference in age
9 distribution, whether we sample in the lithophysal cavities
10 of the fractures. Of course, the ranges of these methods are
11 dramatically different. This is about the limit of the range
12 of the thorium-230, uranium-234 method, and, of course,
13 Carbon-14 has a much smaller range.

14 Unfortunately, this is one blank that was
15 submitted. It comes out with a finite of 37,000, so, right
16 now, we have to say anything older than 35,000 is probably
17 not significant in the Carbon-14, based upon those blanks.

18 We see no systematic distribution of numbers so far
19 in the ESF. These are the Carbon-14 ages, so, anything
20 greater than 35,000, we'll just say that's dead carbon. ESF
21 station in meters. These stipple zones are the zones where
22 June has found the elevated chlorine-36. We don't see any
23 spatial variation, a systematic spatial variation or
24 correlation.

25 The same with the uranium series ages. These back

1 here were mainly earlier determinations that were made before
2 the start of the accelerated program. They were mostly from
3 the Tiva Canyon. Our sampling at that time was strongly
4 influenced by what we had found in the drill core. We don't
5 think this trend is real.

6 With the accelerated program, we started somewhere
7 right in here, and so these are basically the new data here.
8 Again, we don't see any correlation with the zones of
9 elevated chlorine-36.

10 I should mention that when you're looking at the
11 fault zone specifically, the actual ruptures, we don't see
12 calcite and silica deposited in those. They tend to be very
13 tight features, so they fit in with our observations that you
14 only find these in open fractures, but we can't date material
15 exactly from the fault planes themselves.

16 One interesting outgrowth that's come out of the
17 uranium series dating, here's calculated initial ratio of
18 $^{234}\text{U}/^{238}\text{U}$ against station, and there is a very good
19 correlation, there is a correlation here, anyway, in the
20 shallow levels of the Tiva Canyon.

21 The initial ratios are very much like the ratios in
22 the surficial calcite, calcretes, the pedogenic calcites;
23 whereas, you go down section, you're starting to get very
24 large initial ratios, and, basically, these are starting--
25 well, the other place we see initial ratios is in saturated

1 zone groundwater, which just means the waters are picking up
2 these elevated ratios from the rocks themselves, so this
3 could be an indication of progressive water/rock interaction
4 as we're moving down stratigraphically in the section.

5 We think the stable isotope work is really just
6 starting on some of these, or the radiogenic isotope work,
7 but the tracer isotopes appear to link the subsurface
8 deposits with surface conditions. We also indicate some sort
9 of past temporal variability in these conditions.

10 The next slide I'm going to show you now, I show
11 you age, but it's only relative. These samples have not
12 been--the particular samples used for the isotope tracers,
13 there is not really good absolute age control yet, but we
14 will try to get that eventually, and what I was sort of
15 mumbling about through that slide is this variation here,
16 where we see, you know, some sort of coherent signal between
17 the strontium isotopic composition and the carbon isotopic
18 composition.

19 I think the last page of your handout, in a series
20 of supplemental slides, it also shows oxygen, and we were
21 somewhat surprised, but very encouraged that we would get
22 some sort of relationship like this. It tells us that there
23 is a signal there, and all we have to do now is to be clever
24 enough to figure out what this means with regard to what was
25 happening at the surface when these waters that deposit these

1 minerals acquired these parameters.

2 And, lastly, of course, one of our objectives is to
3 try to constrain, as I said before, the water flux, and,
4 really, what we plan on doing, we're going to buy many copies
5 of Don Langmuir's new textbook, and he's going to tell us how
6 to do it. Now, remember that "many copies" when you start to
7 ask me questions.

8 It's not going to be easy, but I think we have to
9 make simplifying assumptions, and we have to have a shot at
10 it, and we've just started to try to estimate the abundance
11 of calcite and opal in the ESF. We know for certain that
12 it's spatially inhomogeneously distributed. That would
13 certainly fit in with other observations that the flux is
14 also spatially inhomogeneous.

15 We have to look at the compositions of water that
16 have been determined by Al Yang and his group, and others.
17 We have to think about, you know, what sort of evaporative
18 concentration does it take to cause deposition, and we have
19 to deconvolute the ages and come up with an age distribution
20 model, and then, eventually, down here, come up with
21 estimates.

22 Brian Marshal, just yesterday, did some speciation
23 of existing water compositions. These are all unsaturated
24 zone water, and, in terms of calcite, they're very close to
25 saturation. Some appear to be oversaturated, and some appear

1 to be undersaturated with regard to calcite. Most of them
2 seem to be close to saturation, but some are undersaturated
3 with regard to silica, and we have to pursue this approach,
4 but that's pretty much what we've done to date.

5 I think that's it.

6 DR. DOMENICO: Thank you very much, Zell.

7 Any questions from the Board? Don?

8 MR. PETERMAN: Just wouldn't leave it alone, would you?

9 DR. LANGMUIR: Just a thought. We've been going back
10 and forth on the possibility of evaporation from Al Yang's
11 work, separate conversations that the matrix is full of
12 water, so the water, if it goes down a fracture zone, doesn't
13 exchange with the matrix.

14 This suggests to me that evaporation, if it's
15 happening, is very subtle, and is within a per cent or two of
16 saturation, moisture content. It's close to saturation if
17 it's going on. It's a very subtle effect, which made me
18 think about another way to do this.

19 Calcite and silica tend to be mutually exclusive in
20 terms of the pH effect of solubility, as you know, and you
21 get one or you get the other, often. If the pH is
22 increasing, you're going to dissolve the silica, but you're
23 going to precipitate the calcite. You can get this effect by
24 subtle changes in CO₂ pressure at depth. We would shove you
25 back and forth across the calcite silica lines, giving you,

1 maybe, this intimate crystal growth that you've got, and this
2 could happen best where you have the possibility of some
3 breathing, doesn't have to be much, just a complication other
4 than simply evaporation.

5 A change in CO₂ pressure will do the very same
6 thing, and might be more likely in a breathing system that's
7 near saturation.

8 MR. PETERMAN: Well, this is the kind of thinking and
9 information we need to work into this, and our feeling that
10 we need evaporation stems from the observation that we never
11 see--never is, you should never use never in geology. We
12 rarely see filled fractures. They seem to require some head
13 space to get the nice deposits.

14 DR. LANGMUIR: Well, maybe you need to have a void that
15 contains some fluid from which to make the precipitate. If
16 you don't have enough fluid in one spot, you won't make
17 anything by the breathing. If you've got a little pool--

18 MR. PETERMAN: I think you have to continually recharge
19 these by this very thin film.

20 DR. LANGMUIR: That, too, overflow them and pool them
21 out.

22 MR. PETERMAN: Right.

23 DR. LANGMUIR: The other thing, other question,
24 unrelated, are you finding your uranium isotope dates are
25 consistent with your Carbon-14, because I noticed you had a

1 factor of two in the apparent ages due to uranium isotopes at
2 least in one example.

3 MR. PETERMAN: No, that's a good question, and that's--

4 DR. LANGMUIR: At some point, you've got to bring this
5 to resolution at some point.

6 MR. PETERMAN: Right. That's partly addressed in those
7 supplementary slides. I think what we're thinking is because
8 of this fine scale layering, we can't sample on a layer-by-
9 layer scale, so we're integrating over a growth history. So,
10 by that integration, we'll bias our ages a bit.

11 Like if you had two layers, and one was 100,000
12 years and there was one on top that was zero years, and you
13 sampled them for Carbon-14, but you could only sample them
14 together, the mean would be 50 per cent modern carbon, giving
15 you a 4,000 year age for the collective sample, but the true
16 mean age would be 50,000 years, so there is a bias there.

17 This is something we want to work on. If we could
18 bring in systems that have different half-lives, that
19 discordancy is predictable from what we call a continuous
20 deposition model, where you have to sample finite
21 thicknesses. We can bring in different methods, like
22 protactinium and radium, with different half-lives.
23 Theoretically, we would expect very systematic discordances,
24 and that's something we want to try to do next year, but
25 that's a problem. We're never going to be able to sample on

1 that monomolecular scale, or submicron scale.

2 DR. DOMENICO: Zell, I have a question. Can you put on
3 Slide 19, because you went through that one quite rapidly.

4 MR. PETERMAN: Could you tell me which one that is?

5 DR. DOMENICO: Estimating water flux, I think it is.
6 I'd like to take a minute with these, because, like I said,
7 that was too quick for me.

8 Determine abundance of calcite and opal. That's an
9 observation, and I presume that's going forward now?

10 MR. PETERMAN: We started last week or the week before
11 doing some just line surveys, and measuring the intercepts of
12 fracture fillings and cavities. That's the way we'll do it,
13 just like you would point count a slide.

14 DR. DOMENICO: Let me get to the next point: Determine
15 level of mineral saturation in possible input water. You say
16 that you're undersaturated with respect to silica, and you're
17 slightly saturated with respect to--

18 MR. PETERMAN: The available data that--Brian Marshal
19 ran this through PHREEQ-C, to speciate the chemistry, and
20 these are the results. He just did it yesterday. It was
21 only two or three or four samples that appear to be
22 oversaturated in silica. I mean, they're all very close.
23 Everything's close to saturation.

24 DR. DOMENICO: The third bullet, I guess the bullet says
25 that in order to bring it up to saturation, you require a

1 certain amount of evaporation. Why couldn't you be
2 scavenging or dissolving those minerals from the rock in the
3 early pathways and bringing it to saturation that way?

4 MR. PETERMAN: This is, I think, a real possibility. We
5 have some indication. Larry Benson reported in a paper in
6 '86 or '89, or somewhere in there that he had measured
7 actually surface runoff, and even it was saturated in
8 calcite. You know, it's such a calcium-rich environment out
9 there at Yucca Mountain at the surface, I think that first
10 drop of water that hits the ground, it practically becomes
11 saturated at that point. Silica's another matter.

12 DR. DOMENICO: But you still have to get some silica to
13 bring that up to saturation.

14 MR. PETERMAN: Yes. The problem with, you know,
15 dissolution and redeposition, I think probably happens. In
16 these growth surfaces, these outer surfaces, you saw many of
17 them are very pristine. You don't see evidence of corrosion.

18 In some of the lithophysal cavities at the bottom
19 of the deposits, there is some indication that there may have
20 been dissolution, and I think you sort of have to
21 conceptualize the thing from the bottom to the top. I think
22 it would be unreasonable to think we have a drop of water
23 that comes in at the top, and we've got a calcite fracture
24 down here, or a fracture down here, and that drop goes all
25 the way down here before it precipitates. That's not a

1 reasonable model. It has to be a dynamic system. There has
2 to be some solution and redeposition.

3 I would hope that, on the average, if we could cut
4 planes through the rock mass and sample effectively those
5 different planes, that that would somehow, I think that some
6 sort of a dynamic equilibrium would tend to average out.
7 We're still getting good age records of what's moving through
8 the rock mass. That's my feeling. It's a conceptual feeling
9 more than anything else at the moment.

10 DR. DOMENICO: That fourth bullet, the word "model"
11 confuses me. I imagine, by observations, you can establish
12 the age distribution of calcite and opal in the deposits.
13 That's an observation and a measurement. What model are we
14 talking about here? Establish age distribution model.

15 MR. PETERMAN: I think we have to understand a little
16 bit better this built-in bias that these very fine scale
17 samples pose in terms of the isotopic ages. As I say, you
18 know, we're hoping to address that by bringing in some other
19 chronometers. That's one thing that we have to sort out a
20 little better than we do now.

21 I think we have to spend more time--right now, all
22 of our sampling, most of our sampling has been on the
23 youngest materials present, because we started out feeling
24 that those were the most important. We have not spent a lot
25 of time going deeper into the deposits to try to understand

1 the whole growth history, and we think probably some of the
2 old opals, we may even be able to go in and do conventional
3 uranium lead dating. I think that's what we meant.

4 DR. DOMENICO: Based on that, correct me if I'm wrong,
5 but I think it would be possible for you to calculate some
6 pseudo reaction rate coefficient like the volume reacted per
7 unit volume per unit time, when you combine that with your
8 age dating. I don't know what that would mean, but it might
9 mean something in terms of transport modeling if you're
10 looking for, like I say, I would call it pseudo, but it would
11 be different for both the calcite and the opal, but I would
12 think that, at that point, you should be able to get to that.

13 Now, to calculate the flux required to deposit
14 minerals, how do you do that?

15 MR. PETERMAN: Well, in a very simple-minded way. We'll
16 assume that the water is saturated. We'll determine the
17 growth rate of the deposit. I mean, we've done some of these
18 back-of-the-envelope calculations. We can do it for a
19 fracture, say.

20 You've got so much material. You know the rate of
21 accumulation. How much water does it take, reasonable water,
22 like the waters that have been analyzed, how much water would
23 it take to deposit that amount of material? I think that's
24 what we're looking at.

25 There are all sorts of complications, like Don has

1 alluded to, and other ways we can look at this, but that's
2 where we're headed. As I say, we're going to have to make a
3 lot of simplifying assumptions, but, you know, that's no sin
4 in geochemistry and hydrology. It's done all the time, but
5 that's where we want to go.

6 Now, the numbers that we've looked at, they're
7 certainly in that six orders of magnitude range that we saw
8 yesterday, so we're not totally out of the ball park. How we
9 might--I think that you bring up another important question.

10 What does a distributed flux mean to the repository
11 block? It may not mean much of anything. If these two, two
12 of these gross dual permeability domains are really true, you
13 really have to try to map out these things in two dimensions,
14 three dimensions, and also with regard to time, and, of
15 course, the modelers are going to produce the maps. They're
16 going to cut slices through the block, and they're going to
17 show us where they think the maximum and minimum flux may be,
18 but we've got to provide some hard data to keep them honest;
19 otherwise, they start to believe their models. That's very
20 dangerous.

21 DR. DOMENICO: Would you accept this as a possibility,
22 that the reason you don't find calcite and opal in those
23 structural features where you do find the chlorine-36 is
24 because the water was moving too fast?

25 MR. PETERMAN: Too fast for deposition? I don't think

1 we could dismiss that possibility. The other thing is we
2 don't see those open fractures right there in the sheers
3 themselves. They tend to be pretty tight, pretty close
4 features, and so, if our idea that you need a little head
5 space for evaporative concentration is true, you don't have
6 that head space in these fracture zones, yeah, that's true.

7 Of course, that's why we did this dual approach;
8 date the physical record and do chlorine-36 for exactly that
9 reason.

10 DR. LANGMUIR: Pat, could I add a complication to the
11 whole thing, just quickly?

12 DR. DOMENICO: No; just no.

13 DR. LANGMUIR: It just occurred to me, Zell--I'm sure it
14 has occurred to you both before--what you may well be looking
15 at, as we've just said, you're coming down through here and,
16 almost certainly, you're precipitating silica and carbonate,
17 and redissolving it and reprecipitating it.

18 You're not looking--you're looking at a bounding
19 oldest age. It may well be a heck of a lot younger, for the
20 water itself going down through the system may be far
21 younger. You're looking at the time it took for those
22 isotopes in whatever mineral they were in to get down there,
23 and it's probably been a series of stops and starts and stops
24 and starts, so this isn't really an infiltration rate you're
25 looking at, it's a migration rate for these isotopes in the

1 minerals.

2 MR. PETERMAN: No, you're right. It doesn't tell us
3 anything about the travel time.

4 DR. LANGMUIR: And the chlorine-36 is a better
5 indication, where you find it, of the age of that water,
6 because it's better conserved in the fluids; whereas,
7 reacting elements don't tell you that, because they don't
8 stay in solution all the way down.

9 MR. PETERMAN: That's right. We're looking solely at
10 the depositional records.

11 DR. LANGMUIR: You've got to find some other tracers.

12 DR. DOMENICO: I'm going to have to move us, because
13 these are good points that we should remember for the round-
14 table this afternoon, to bring this up again, and I think our
15 last presentation of the morning is the hydrologic flow paths
16 and rates inferred from the distribution of chlorine-36.
17 That's June Fabryka-Martin and Andrew Wolfsberg, I believe.

18 MS. FABRYKA-MARTIN: I'm June Fabryka-Martin. I'm the
19 principal investigator of the water movement test, which also
20 is more commonly known as the chlorine-36 study, and, also,
21 my co-presenter today is Andy Wolfsberg, also from Los
22 Alamos, a hydrologist who works with me very closely,
23 particularly on the ESF work we've been doing.

24 What I'm going to be talking to you about for the
25 next few minutes is our work in the ESF, which, as Zell

1 described, started mid-November, and I'll be talking about
2 what the objectives of that study are, our approach in
3 collecting the samples or selecting sampling sites, present
4 the data and our preliminary interpretation of those data,
5 talk about the implications for our understanding of the
6 unsaturated zone's hydrologic system.

7 Andy then will compare our interpretation with
8 transport calculations to show how consistent that
9 interpretation is with what we know about hydrologic
10 parameters, and, finally, we'll end with some conclusions.

11 In November, the objectives of the study in the ESF
12 that we came up with was, first of all, to evaluate the
13 extent to which the nonwelded unit, Paintbrush nonwelded
14 unit, is an effective barrier to vertical flow; secondly, to
15 provide bounding estimates for the travel time of water in
16 the matrix of the Topopah Spring welded unit at the
17 repository horizon; and, finally, to evaluate the frequency
18 and distribution of any preferential flow paths that we might
19 find.

20 We're not completed with achieving these objectives
21 yet. This is just a status report I'll give you today. I
22 would estimate we're about half through, at least for this
23 phase.

24 Stan talked a little bit about sources of chlorine-
25 36 in the hydrologic cycle, and I'll just reiterate some of

1 these points. The two signals that we're most interested in
2 are the anthropogenic sources of chlorine-36 from the global
3 fallout resulting from nuclear weapons testing in the late
4 fifties and early sixties. Also, there may be a component
5 from local NTS activities, although I haven't seen any strong
6 sign of that for chlorine-36.

7 That will give us signals. The peak for a global
8 fallout may have been up as high as $200,000 \times 10^{-15}$. Compare
9 that against the background, present day background of 500,
10 so it's a really massive signal when it's present, and this
11 will be dominant, of course, in young waters.

12 The other major type of chlorine-36 we're
13 interested in is just that which is produced naturally in the
14 atmosphere, just like Carbon-14, just like tritium, like your
15 interactions with cosmic rays with atmospheric gases, and
16 even though the present day ratio might be 500×10^{-15} , we do
17 have evidence from packrat middens that it may have been as
18 high as 1500 over the past half-million years, and this will
19 be the dominant source in pre-bomb waters.

20 But, in interpreting the results, we have to also
21 be aware of other sources of chlorine-36 in the hydrologic
22 cycle. Specifically, as Stan talked about, there is
23 production from cosmogenic reactions on rocks and minerals
24 near the surface, and one that many of you have already heard
25 about and been discussing among yourselves, I'm sure, is the

1 production on calcite, and whether or not that calcite then
2 releases the chlorine-36 to be carried down to the water.

3 This is going to be a variable input function.
4 It's going to depend on the exposure age of the mineral, how
5 deep it is, what the elemental composition is, how much
6 chloride is present that can dilute the signal, and my
7 feeling--although some may argue with me--is it's probably
8 negligible relative to those atmospheric sources.

9 And, secondly, in deep rocks, there is a continuous
10 production of chlorine-36 just because there's a neutron flux
11 everywhere due to the presence of uranium and thorium and
12 their decay products. At Yucca Mountain, the calculated
13 ratio will be on the order of 20 to 30, far below either of
14 the atmospheric sources, and this is generally negligible in
15 the Yucca Mountain system.

16 Now, our approach for the ESF study is we use three
17 sampling criteria. First of all, systematic sampling every
18 200 meters, boom, we would collect a sample, and we've got
19 about 24 so far, of which we've analyzed 13.

20 The second category, most of our samples were what
21 we call feature-based sampling, and these were ones that were
22 generally selected in close coordination with the USGS, and
23 we were looking at things like fractures, things that looked
24 like they might potentially be fast paths, so fractures and
25 faults. We also, on purpose, were trying to find places

1 where we expected to see old chlorine-36, and we weren't
2 successful at that, but we looked, and that's why it also
3 includes lithophysal cavities, for example.

4 And then the third category of samples within the
5 PTn we sampled at subunit contacts to see if those contacts,
6 or changes in porosity, for example, or changes in hydraulic
7 permeability could be contributing to, say, lateral diversion
8 of flow in the PTn.

9 And you can see how we've collected about, oh, 153
10 samples so far, and five or six field trips--about every
11 month, we go out--of which we've analyzed about a third, and
12 another third of those are waiting at Purdue, waiting to be
13 analyzed now. We expect to have results by the end of the
14 month, or early August.

15 Now, the results. What I've plotted here is the
16 chlorine-36 to chloride ratio $\times 10^{-15}$ as a function of
17 distance from the north portal, station zero, so the stations
18 are every 100 meters, so 10 would be 1,000 meters into the
19 ESF, and then, also, I've used two different plotting symbols
20 here.

21 The systematic samples, the one that are every 200
22 meters are plotted with the solid black squares. The
23 feature-based samples are plotted with the shaded squares,
24 and I want you to pull out two observations from these data.

25 First of all, one thing that probably jumps out at

1 everybody right away is that there's two distinct populations
2 here. We have these fairly sizable spikes going, the ratio
3 is almost as high as $4,000 \times 10^{-15}$, and these we're
4 interpreting as bomb pulse chlorine-36.

5 Then the second thing to pull out from it is how
6 few of the samples fall below the present day meteoric ratio
7 of 500. The second population is a band where most of them
8 fall between 500 to 1,000, or certainly 500 to 1500
9 encompasses all of them. Those I'm not going to talk about
10 in much detail today, except to say that this is consistent
11 with a variable input function that we've been able to
12 reconstruct to some extent by looking at packrat middens for
13 the past 30,000 years.

14 It's the bomb pulse signals that sparks the most
15 interest and debate and discussion, and so those are what
16 I'll focus on for the rest of the talk.

17 What I have here is, using Warren Day's preliminary
18 map of surface faults, the dashed lines. Also, on here I
19 have the bedrock alluvial contacts, also taken from his map,
20 and overlaid on top of that, the ESF, with the stations
21 marked every five stations, and the red circles represent
22 places where we saw the elevated chlorine-36 and the chloride
23 that we're interpreting as being bomb pulse.

24 What you should notice from here is that two of the
25 locations, the Bow Ridge Fault and Drillhole Wash Fault, the

1 high signals seem to be clearly related, or, at least, this
2 is very suggestive that they're related to the--the high
3 signals are related to the fault themselves, but the other
4 three, the relationship is not at all that clear.

5 But, a more relevant way of looking at the data is
6 --and I'll skip over to here so you can see both at once--
7 is to look at those same fault features mapped at the depth
8 of the ESF itself, and this is taken from a preliminary map
9 provided by Steve Beason, and, again, plotted the data, well,
10 from the north portal at station zero, going through our
11 current location of sample results, up to station 40, and
12 showing the places where we see the bomb pulse chlorine-36
13 with the red squares.

14 And, here again, it just reiterates the point I
15 made with the previous slide, that there seems to be a clear
16 relationship between the fault structure and the bomb pulse
17 signals for the Bow Ridge Fault and the Drillhole Wash Fault,
18 but the relationship of these features to pathways is not
19 quite as clear, and so, our conclusion, or our tentative
20 working hypothesis right now is that if these are related to
21 fault features, it's not a very direct relationship.

22 We think what's happening is that probably the
23 faults may be important in getting the signal, the bomb pulse
24 signal down through the PTn, but after that, it just takes
25 the closest pathway it can find, because most of these are

1 not in faults at all; actually, in the ESF, but, rather, in
2 cooling joints and features like that.

3 Now, the bomb pulse interpretation is clearly
4 significant, enough that it's important to get independent
5 lines of evidence for that interpretation because of the
6 implications, so these are the approaches we're taking to
7 corroborate that signal.

8 First of all, we're evaluating sources of
9 contamination. A lot of our samples do have construction
10 water present in them. You can see it easily because of that
11 bromide tracer that's added. However, the effect of that
12 construction water is not to increase the chlorine-36 to
13 chloride ratio, but, rather, actually, to decrease it, so
14 when I correct for the presence of that construction water,
15 that correction actually kicks the ratio up, because it's J-
16 13 water. It has a ratio of 500×10^{-13} .

17 And, in addition, to check for lab contamination,
18 of course, we have QA/QC measures. We have a blank that goes
19 along with every batch of samples. We've never had any
20 trouble with the blanks for the samples I've reported.

21 Secondly, we're evaluating surface calcite as an
22 additional source. We're taking two tacks there; first of
23 all, just doing theoretical calculations to try to bound the
24 contribution of chlorine-36 from this source; and then,
25 secondly, our GS colleagues helped us select sampling sites

1 for calcites from a variety of locations, and we're in the
2 process of analyzing those so that we can see what that ratio
3 really is.

4 Thirdly, we're trying to reconstruct the past
5 chlorine-36 to chloride signal in the atmosphere to see how
6 high it could have been in the past, and based on the packrat
7 midden data that we have so far, our highest ratio is 1300.
8 I don't think we're going to get anywhere near 4,000, so I
9 think we'll be able to rule this out as an alternative
10 hypothesis for those high signals.

11 We're looking hard at field relations of the
12 samples, and the mineralogic features of the sampling
13 locations, particularly those with the elevated chlorine-36
14 to chloride ratios to see if there's other evidence for water
15 flow and movement, and it's early days to draw any
16 conclusions from this as yet.

17 We're working closely with Alan Flint to see what
18 correlation there is between the net infiltration estimates
19 he's come up with, and where the high signals occur.

20 And, finally, we're also looking for other bomb
21 pulse nuclides, and I'll show you next some results for
22 tritium, cesium, plutonium, technetium-99 and iodine-129.

23 First, the tritium results. Both these sets of
24 data for the bomb pulse nuclide results, you shouldn't view
25 it as the final word. It was just really just scoping

1 studies to see whether it was feasible to continue. Now,
2 with the tritium results, these are all GS results and just
3 in the interest of saving time, we agreed that I should
4 present them.

5 The first group of samples are from the ESF main
6 tunnel, collected by Alan Flint and Joe Hevesi, and what
7 you'll notice right away from here is that the tritium is all
8 below detection. These are all picked from locations that
9 had the high chlorine-36 to chloride ratios. However, Gary
10 Patterson has radial boreholes in Alcove 3 that are in the
11 Tiva Canyon welded unit, and you can see that four of those
12 five samples had measurable tritium levels.

13 And so, there's many different hypotheses you can
14 come up with to explain this, but the one that we're thinking
15 is most likely is that these collected from the tunnel walls
16 have been diluted by J-13 water, the construction water, to
17 such an extent it's just diluted out any bomb pulse tritium
18 that may have been present, and so, what we're doing for the
19 next round is drilling into the walls five to ten feet, to be
20 collecting samples, then, further back in away from the
21 construction water influence.

22 Then for the other bomb pulse nuclides, I selected
23 a suite of samples on purpose to try to maximize the
24 possibility of seeing technetium, cesium, and plutonium if it
25 were all present, so this is just sort of like a proof of

1 principle. It's not supposed to be an unambiguous indication
2 of whether or not the chlorine-36 is bomb pulse or not.

3 And so, I picked the Bow Ridge Fault at Station 2,
4 and there is a sample from Borehole N55 that had extremely
5 high chlorine-36 to chloride ratio. We saw technetium-99 in
6 both of those samples, which I think is pretty strong
7 evidence that there is, indeed, bomb pulse chlorine-36 at
8 those locations as well.

9 We did not see cesium-137 or plutonium in those
10 deeper samples, but we did see it in the surface soils, and
11 these distributions, of course, are consistent with how we
12 expect the geochemical behavior of these isotopes to be,
13 meaning that we expect cesium and plutonium to be hung up in
14 the upper surface and not be mobile, and technetium-99, on
15 the other hand, as an anion, we would expect it to be mobile,
16 just like chlorine-36. So, we're going to be continuing
17 processing of additional samples now from the ESF for
18 technetium-99.

19 The other isotope we're looking at, iodine-129,
20 we've sent samples off to Purdue University for analysis, and
21 I hope to have results back on that in the next couple of
22 months.

23 Finally, the implications of these elevated
24 chlorine-36 results for our understanding of the UZ
25 hydrology, first of all, that bimodal distribution of the

1 ratios demonstrates that there's isolated fast paths from the
2 surface to the ESF. I think it's pretty conclusive.

3 Secondly, the penetration of recent water into the
4 Topopah Spring welded unit is indicated by the bomb pulse
5 chlorine-36 in the fractures. However, it's important to
6 realize that these bomb pulse signals by themselves say
7 nothing about the flux. In fact, the flux is likely to be
8 small or negligible, but you can't quantify it based on this
9 result alone.

10 Thirdly, the fast paths that carry water into the
11 TSw may be associated in some way with major fault zones that
12 can cut through the PTn.

13 And, finally, transport calculations that Andy will
14 be talking about following me, indicate that the arrival of
15 the bomb pulse chlorine-36 at the ESF is consistent with the
16 increased fracture permeability in the Paintbrush nonwelded
17 unit that one would expect to be associated with faults.

18 And, with that, I'll turn it over to Andy to show
19 that.

20 DR. DOMENICO: Let's hold the questions until the
21 completion of the presentation.

22 MS. FABRYKA-MARTIN: Right.

23 MR. WOLFSBERG: When I heard that Ed had 30 view graphs
24 yesterday and Alan had 40, I thought I'd shoot for about 50
25 view graphs, but June and Jill asked me to keep it to five,

1 so I'll keep the number down so there'll be lots of questions
2 for June.

3 What I'm going to be talking about is the chlorine-
4 36 transport simulations in support of the interpretations of
5 the data that June's just presented. The objective of the
6 study is to develop a quantitative conceptual model of the
7 movement of chlorine-36 from the surface down to the ESF.
8 That'll help us go through our evaluation and analysis of
9 what do these signals mean, and what are the flow paths and
10 mixing and mechanisms associated with the measurements that
11 she collects.

12 The methodology that we're using involves one-
13 dimensional and three-dimensional transport simulations. The
14 1-D simulations are used to really focus on what the
15 mechanistic processes are, what the fracture matrix
16 interactions are, the difference from location to location,
17 and I'll be talking in a few minutes about the impact of the
18 thickness of the PTn and the spatially variable infiltration
19 effects, both spatially, variable, and transient, as Alan was
20 talking about yesterday.

21 Then we have three-dimensional transport
22 simulations, which I won't be able to get into today, but
23 they extend what we do with the 1-D simulations to examine
24 the lateral flow effects at material boundaries, the full
25 effect of the spatially variable infiltration, and the effect

1 of the full fault system.

2 Now, June mentioned that there's indication of a
3 variable chlorine-36 production rate through time, and we're
4 using this as our input signal to the model. It's based on
5 some theoretical development associating the production of
6 chlorine-36 with the geomagnetic flux variations through
7 history. It's somewhat substantiated through packrat midden
8 samples and some work that Scott Tyler has done, but this is,
9 as Stan mentioned, it's emerging research. We're using,
10 effectively, one realization of a calculation of what the
11 chlorine-36 production signal through over the last, well, I
12 could go out to two million years.

13 But, what I want to point out, that you'll be
14 seeing in the simulations, is that here we are at present
15 with the present ratio of 500×10^{-15} , and when we go back
16 50,000 years, we may be dealing with a higher chlorine-36
17 production rate, as high as close to 1500.

18 To start the study off, what we did is we did a
19 three-dimensional calculation where we used that input
20 function, and we looked at where the bomb pulse deposited
21 itself. This is a three-dimensional simulation. We don't
22 have faults in this model, so there's no fault zone
23 properties, and this reddish-orange color that you see is at
24 the Tiva Canyon/PTn interface, so this sort of confirmed our
25 initial hunch that the stuff moved quickly through the Tiva

1 Canyon, and moved into the matrix of the PTn, and deposited
2 itself there.

3 Throughout a huge portion of time, we end up with a
4 signal between 500 and 1500, which is consistent with the
5 other non-bomb pulse signals that June has been measuring in
6 the tunnel.

7 Now, the approach that we then went to is, okay,
8 what does it take to get this stuff through the PTn, down to
9 where June was measuring for bomb pulse in the tunnel, and
10 that's when we moved to the one-dimensional column studies.

11 From our three-dimensional hydrostratigraphic
12 model, we numerically took a bunch of boreholes. We're going
13 to be focusing on this one right here. It's a location where
14 June found bomb pulse chlorine-36, and we're going to be
15 looking at the migration just vertically through a 1-D column
16 there.

17 This is at Station 35. We're dealing with 21-some
18 odd units of the system, all with hydrologic properties that
19 are being developed by the various participants in the
20 project, and we're going to be looking at the effect of
21 property variations and the infiltration rate effects on what
22 does it take to get bomb pulse down to the ESF.

23 What I've plotted here is a typical solution that
24 we would calculate on a column like this. One of the things
25 that we're very interested in is the pressure difference

1 between the matrix and the fractures, because, depending on
2 which is greater, we're either driving fluid from the
3 fractures into the matrix, a process called imbibition, or we
4 may be bringing fluid back out of the matrix into the
5 fractures. That would be more consistent in yielding flowing
6 fractures.

7 We're very interested in what happens here in the
8 PTn. What does it take to get fluid to move through the PTn
9 quickly? That's the bounding ladder, and that's the rate
10 limiting determinant on whether we get bomb pulse to the ESF.

11 What we've plotted here is a solution for the
12 chloride concentration in both the matrix and the fracture in
13 one of these simulations, and, as with that 3-D simulation I
14 just showed, we see the bomb pulse basically depositing
15 itself in the initial matrix of the PTn as it encounters
16 that.

17 As you move down the system in this particular
18 simulation, the fractures of the PTn could not sustain flow
19 through the entire thickness, and, therefore, the fractures
20 effectively dry out and we don't have a continuous
21 concentration profile through the PTn in the fractures.

22 Once we get into the TSw, the matrix acts as a
23 source to the fractures, and we basically get input function
24 from the matrix into the fractures, leading to a signal in
25 the fractures there.

1 What I'm going to show now is this numerical
2 experiment that we performed in looking at what does it take
3 to get the fluid to flow rapidly through the PTn. This is by
4 no stretch a Latin hypercube, but I think this is revealing,
5 and indicates that the measurements are consistent with our
6 conceptual thinking and what's occurring.

7 Away from a fault zone, we have a set of base case
8 hydrologic properties. That's thinking of matrix and
9 fracture properties throughout the system, and what we do is
10 we're looking at infiltration rate versus property
11 modification, so with the base case properties, we ran a
12 variety of infiltration rates to see if we could actually
13 penetrate the PTn and get the bomb pulse in less than 50
14 years down to the ESF. At .0 to 15 mm/yr, it didn't happen.

15 So, then, what we did is we started modifying just
16 the PTn properties as may be consistent with the faulted
17 zone, fracture density and fracture aperture, both of which
18 lead to an increased fracture permeability, something which
19 may be consistent with the pneumatic testing that's being
20 performed now. I believe there's indications that in fault
21 zones, the effect of permeability, and, therefore, the effect
22 of air permeability and, therefore, the fracture permeability
23 of the PTn may be substantially higher.

24 So, what we did is, we looked at increasing either
25 the density or the fracture aperture, and what the effect of

1 fracture permeability relative to the base case conditions
2 were, and whether that led to bomb pulse arrivals at the ESF
3 or not, and I'm just going to run through this real quickly.

4 What we see is that it's not uniformly consistent.
5 When you increase the density, you have fractures that are
6 closer together and, therefore, that increases the potential
7 to bring fluid out of the fractures back into the matrix, but
8 when you increase the permeability through an aperture
9 increase, we start to see, under reasonable infiltration
10 rates along the lines of what we've been hearing from Ed and
11 Alan, a potential to bring the bomb pulse all the way down to
12 the ESF.

13 So, this table basically goes through a set of
14 examinations of what if there were some alteration to the
15 PTn, could we get the bomb pulse to the ESF?

16 So, as June said, the implications of the chlorine-
17 36 transport simulations indicate that the arrival of bomb
18 pulse chlorine-36 at the ESF is consistent with the increased
19 fracture permeability in the PTn, as may be associated with
20 faults, and, with that, I think I'll stop. There's a variety
21 of other things I could talk about, but I think it would be
22 appropriate to have June come back up for questions.

23 DR. DOMENICO: Thank you very much, Andrew.

24 We can open up to the Board for questions either
25 for June or Andy. Don?

1 DR. LANGMUIR: We've talked about this before, but I--
2 both of you, I guess, but the back-of-the-envelope approach
3 to this thing, I would have thought that what we would try to
4 do, perhaps, for chlorine-36 to back out infiltration, at
5 least where you find it, is to maybe do an in-depth cross-
6 section profile of chlorine-36 across a zone.

7 And then, assuming Al Yang's average unsat zone
8 water, get the volumes that you'd associate with those
9 concentrations of chlorine-36 ratioed to the chloride, and
10 that would then give you a volume of water that would make
11 the trip.

12 Does that sound like a way to go back? Is that
13 something that you might do? This doesn't address the issue
14 of how to get it there, but, rather, how much water might be
15 making the trip.

16 MR. WOLFSBERG: Well, yeah, and then we need to know,
17 basically, the effect of the surface area with one of these
18 zones.

19 DR. LANGMUIR: Well, you presumably have a certain
20 chloride content in the given volume of rock that you sample
21 from one of those zones, and then you've got the chloride
22 ratio, the chlorine-36 ratio to that.

23 MR. WOLFSBERG: Well, in terms of the actual chloride
24 ratio--

25 DR. LANGMUIR: Trying to back out a mass balance of

1 quantities.

2 MR. WOLFSBERG: You have to leach that out of the rock;
3 right? It has to do with the actual volume, the volume
4 associated with the high chlorine-36/chloride ratio, but,
5 see, to actually get that, they have to actually leach the
6 chlorine-36 off the rock.

7 DR. LANGMUIR: Isn't that basically how you get your
8 sample?

9 MS. FABRYKA-MARTIN: We don't measure pore water
10 concentration, so we don't know what the chloride
11 concentration is of the sample, of the pore water chloride
12 concentration in the samples. All we do is take rock--it can
13 be perfectly dry--and leach it.

14 DR. LANGMUIR: Don't you have, from Al Yang, for
15 example, the fraction of moisture content in a volume of rock
16 average for the different horizons?

17 MS. FABRYKA-MARTIN: Sure. There are moisture profiles.

18 DR. LANGMUIR: There's wide uncertainty, obviously, in
19 all of this, but...

20 MS. FABRYKA-MARTIN: Right. There are moisture
21 profiles.

22 DR. LANGMUIR: But as a way to go backwards to
23 infiltration rate.

24 MS. FABRYKA-MARTIN: By chloride mass balance?

25 DR. LANGMUIR: Yeah, chloride mass balance, and to the

1 inferred volume of water that contributed your chloride for
2 the dating.

3 MS. FABRYKA-MARTIN: It's worth pursuing, sure.

4 DR. LANGMUIR: And then if you've got a fairly in-depth
5 look at the chlorine-36, the width of the zone in which you
6 get those bomb pulse ages.

7 MS. FABRYKA-MARTIN: Right. The way I view what we've
8 done so far is like a phase one, where we're essentially
9 doing a screening of the entire tunnel. Then, once the
10 flurry of the fiscal year ends, we'll sit down with our GS
11 colleagues and others and come up with some working
12 hypotheses, and go back in the tunnel and do more intensive
13 study at selected zones and actually test hypotheses, and one
14 of those will be what is the width of the zone that's
15 affected by those bomb pulses? What is the nature of those
16 pathways?

17 MR. WOLFSBERG: See, one of the problems is they collect
18 a sample in one of these feature-based samples, but it's not
19 necessarily clear what the surface represented, or the
20 surface was. I mean, you go through the Tiva Canyon, you may
21 have a wider or a narrower zone through the PTn that you have
22 move this, and so that's what we're working towards, is
23 basically bounding what the column volume is that this flux
24 is occurring through.

25 DR. CORDING: Cording; Board.

1 It seems that putting some dry drillholes out and
2 doing some of that type of sampling across features, and then
3 tying this in with the ambient degree of saturation and that
4 moisture content, and, then, ultimately, maybe in the same
5 locations, doing some more passive monitoring of flow
6 conditions, so some of the things that Alan Flint's been
7 talking about, and perhaps Lawrence Berkeley has been talking
8 about, those sorts of things, putting it all together would
9 seem to be a real benefit to getting towards this sort of
10 thing, getting some of that other type of information can
11 support getting at, perhaps, some of the flux rates, even
12 tying it back to the chlorine-36.

13 MS. FABRYKA-MARTIN: I agree with you. I think both the
14 GS and I are very excited about increasing our level of
15 working together, because that's helped us make great strides
16 forward in our understanding of the data, and we do have
17 plans to do that for next fiscal year.

18 DR. LANGMUIR: And putting the plastic sheets on the
19 walls, right, Pat, just for a second, to finish this. Alan's
20 talking about putting plastic sheets up to collect the
21 moisture, and then you really have, perhaps, the real
22 moisture contents that have the chlorine-36 data in them.
23 You don't have to infer much.

24 MS. FABRYKA-MARTIN: Right. You also have a better--an
25 opportunity to get more valid tritium results, I think, as

1 well.

2 DR. DOMENICO: June, I'm looking at this distribution
3 versus the station, and like, for example, at Station 35,
4 there's six hits for high bomb pulse. What does that mean?
5 It's on the same station, but is that all from the same
6 structural feature? These are duplicates, or it's a display,
7 or what is it?

8 MS. FABRYKA-MARTIN: Oh, no. No.

9 DR. DOMENICO: Because they're all at the same station.
10 I have no spatial concept of what's going on.

11 MS. FABRYKA-MARTIN: Well, actually, the--

12 DR. DOMENICO: And the same thing with Station 20 or so.
13 You can see five or six hits. How about that sampling, are
14 they far apart, or what?

15 MS. FABRYKA-MARTIN: Yes, they are. Around Station 35,
16 each one of those tick marks on the bottom axis represents
17 100 meters, and so, the width of the signals that we saw
18 around Station 35 is about 100 meters wide.

19 DR. DOMENICO: So these may be different structurally?

20 MS. FABRYKA-MARTIN: These are all individual features.

21 DR. DOMENICO: Structural features.

22 MS. FABRYKA-MARTIN: Yes, and I think in this case,
23 they're mostly cooling joints. They're not faults.

24 DR. DOMENICO: And another thing you mentioned that you
25 didn't want to talk about was a so-called variable input

1 function. Can you explain what that means? And then you can
2 answer me, you've ruled those out as bomb pulses; is that
3 fair, or not?

4 MS. FABRYKA-MARTIN: Yes. The chlorine-36 to chloride
5 ratio in the input signal, the atmospheric signal, has varied
6 over time, and it's varied as a result of two different types
7 of processes: One, the production rate of chlorine-36 in the
8 atmosphere itself has varied in response to changes in the
9 earth's geomagnetic field, and that's represented by the
10 black line down here. This is a reconstruction of what the
11 ratio would be just in response to the geomagnetic field
12 strength alone, and that's what Andy used as the input for
13 his modeling.

14 But then, also, independently, the ratio has varied
15 because of changes in the chloride deposition rate. That
16 one's harder to get a handle on because it must be a fairly
17 complicated function of different climate factors, storm
18 tracks, contributions from recycling of salts from dry lake
19 beds, and so forth, and I've tried to show that by the dashed
20 lines.

21 If the chloride deposition were, say, 60 per cent
22 of what it is today, that's what that upper dashed line
23 represents, and in confirmation of this hypothesis, the black
24 squares are packrat midden results that we've obtained over
25 the past few months.

1 DR. DOMENICO: I thank you.

2 My last question is have you used what we heard by
3 Zell, where the opal does not occur where you find the
4 chlorine-36? Has that sort of guided you a little bit, or
5 could that guide you a little bit in some sampling
6 procedures, instead of going every 100 meters like you have
7 been doing?

8 MS. FABRYKA-MARTIN: You mean purposely go for fractures
9 that don't have signs of filling, or a secondary
10 mineralization?

11 DR. DOMENICO: Yeah.

12 MS. FABRYKA-MARTIN: That makes sense to me, sure.

13 DR. DOMENICO: Because it seems like with a random--it's
14 not random. You do it every 100 meters, I guess, for the
15 background--

16 MS. FABRYKA-MARTIN: 200, every 200 meters.

17 DR. DOMENICO: --but none of those seem to be showing up
18 with anything.

19 MS. FABRYKA-MARTIN: Right.

20 DR. DOMENICO: So, seeing as you've more or less decided
21 these are probably individual fracture pathways, it would
22 seem like--

23 MS. FABRYKA-MARTIN: Right. There is a difference in
24 the way those two types of samples are collected. I was just
25 thinking as you were talking. With the systematic samples,

1 we have the Test Coordination Office mine us out a niche, so
2 if there's a fracture cutting through there, we may not see
3 the bomb pulse anyway, because we've mined out a one cubic
4 foot. So, maybe we should revise the systematic sampling and
5 not only do a bulk sample, but, actually, the nearest
6 fracture to that particular station.

7 DR. DOMENICO: That would seem a lot more reasonable.

8 MS. FABRYKA-MARTIN: That makes sense.

9 DR. DOMENICO: Are there any other questions? Don?

10 DR. LANGMUIR: One related to the variable input
11 function data that you've got there, which, I presume,
12 includes all of the data that's been obtained so far from
13 surface-based testing down from the surface.

14 MS. FABRYKA-MARTIN: Right.

15 DR. LANGMUIR: Do you still believe the dates? In other
16 words, are the corrections so significant, perhaps, that we
17 can't have great confidence in the dates from that surface-
18 based testing?

19 MS. FABRYKA-MARTIN: Which dates?

20 DR. LANGMUIR: We're talking about dates that ranged in
21 the chlorine-36 scheme from maybe 30-40,000 up. How
22 confident are you in the--what's the uncertainty in those?

23 MS. FABRYKA-MARTIN: Oh, I see. Okay, the samples I
24 said I didn't want to talk about?

25 DR. LANGMUIR: Yeah, yeah, the ones you didn't talk

1 about, which got us all excited because they were related,
2 but not the same as the Carbon-14. We invented wonderful
3 concepts of gases moving to make the 14 younger and the
4 uranium, or the chlorine-36 being in the fluid. How are we
5 on those dates now, given where you are in terms of
6 understanding this?

7 MS. FABRYKA-MARTIN: I say we can't do better than
8 bounding it, say, within an order of magnitude, at best. The
9 original intent, remember, was the assumption that the input
10 ratio was more or less constant at 500, and then we went into
11 the ESF in full confidence that we'd find a whole slew of
12 signals below that and just simply estimate ages based on
13 radioactive decay.

14 And, as you can see, most of those ratios were well
15 above 500, and that's completely consistent with what we now
16 know is a variable input signal. So, the approach that we
17 can take to try to draw as much information as we can from
18 those pre-bomb ratios is these three steps I have here. It
19 basically is just setting bounds.

20 We can establish upper limits for the travel times,
21 and that's what I did in the March ESF report that I think
22 most of you have seen, just by using the radioactive decay
23 equation from the maximum possible input ratio, which I just
24 assumed was 1500, and so that's going to give us
25 unrealistically high travel times for most of the samples,

1 but it is a bound.

2 Secondly, we can calculate travel times by
3 transport simulations, and also, in that March ESF report,
4 you've seen the results of Andy's tackling that problem using
5 the reconstructed chlorine-36 to chloride signal, and that
6 generally--he came up with ages between tens of thousand to,
7 well, basically, tens of thousand up to almost 100,000, I
8 think, for those various scenarios he showed. The more
9 realistic ones are going to be when he has the 3-D
10 simulations completed.

11 And then, finally, we can also get a lower bound on
12 the travel time, constraining it by matching peaks in the
13 reconstructed signal. For example, if we see a ratio that's
14 about 1,000 in a sample, we can say, well, when was the last
15 time in our reconstructed signal that there was a ratio as
16 high as 1,000, and by that way, set a lower bound, as long as
17 we can rule out bomb pulse, a bomb pulse component.

18 Does that answer your question?

19 DR. LANGMUIR: I guess what I'm getting out of this is
20 the uncertainties in the chlorine-36 data from surface-based
21 testing above the ESF are very large. The uncertainties are
22 large. We're talking thousands of years, but that's maybe
23 all we can say. Are you better off than that, or is that
24 pretty much where we are?

25 MS. FABRYKA-MARTIN: Yeah. You're saying that the

1 borehole data--

2 DR. LANGMUIR: When you say an order of magnitude,
3 that's a pretty big effect on those numbers; 40,000 versus
4 4,000.

5 MS. FABRYKA-MARTIN: Right. That may be as best we can
6 do, unless we can do a better job reconstructing the input
7 signals and have more confidence in that. The variations in
8 input signal, it's such recent results that I haven't quite
9 worked out how to deal with the problems that you've
10 identified as yet. We're well aware of them, but we're not
11 quite sure how successfully we are going to be able to
12 resolve them, other than the three things I've talked of
13 here.

14 DR. DOMENICO: Let me spread this around a little bit.
15 Was there a question?

16 DR. PALCIAUSKAS: Could you put up the map that follows,
17 previous to the bomb pulse one, showing the ESF locations?
18 The one previous to that.

19 MS. FABRYKA-MARTIN: Oh, the surface one? Okay.

20 DR. PALCIAUSKAS: Yes, the surface one. I have just two
21 brief questions.

22 There were two signal point locations, and I
23 presume you went back to try to verify those?

24 MS. FABRYKA-MARTIN: Right. We did go back and collect
25 samples. We don't have the results yet, analyses back yet

1 for those samples. They're at Purdue right now.

2 DR. PALCIAUSKAS: The other question is, could you, just
3 briefly, describe how those five locations correspond to the
4 surface infiltration areas?

5 MS. FABRYKA-MARTIN: Well, actually, it's interesting
6 you should ask that. What I did, if I can find it, I took
7 the surface map and made an overlay for Alan Flint's
8 infiltration map, if I can line this up. Yeah, it's pretty
9 close.

10 This is basically what you're asking, right, what
11 the correlation is?

12 DR. PALCIAUSKAS: Yes.

13 MS. FABRYKA-MARTIN: And you can just barely make out
14 the circles where the bomb pulse locations are, but here's
15 the north portal entrance, and the thing to note from here is
16 that all of our elevated signals are in zones of low
17 infiltration fluxes, and this just drives home the point once
18 again that a fast path does not equate to a high flux. All
19 it means is that it's a fast path, that water gets in there
20 fast, and, of course, we want to expand on pursuing this
21 hypothesis in greater detail over the next few months or a
22 year.

23 DR. DOMENICO: There's another question by Dick Parizek.

24 DR. PARIZEK: I was going to ask whether or not any of
25 the stratigraphic units were crossed where you had Station 19

1 and 35, which was a chlorine-36 high value, but according to
2 that cross-section, these were in big units, but you were
3 talking about cooling joints being encountered at several of
4 these stations?

5 MS. FABRYKA-MARTIN: Most of the bomb pulse signals were
6 in cooling joints.

7 DR. PARIZEK: Now, that's inconsistent with what I
8 thought I heard maybe several meetings ago, that cooling
9 joints don't go anywhere. They kind of go up and die. They
10 don't cross units. So, now you've got a problem. You've got
11 to get water into cooling joints by some other path, since
12 the conclusions is cooling joints don't connect with the
13 surface.

14 MS. FABRYKA-MARTIN: Right. You're right. The cooling
15 joints do generally seem to be constrained to the particular
16 formation that they're in, the unit that they're in.
17 However, what we think the pathway is, the role of the fault
18 is just getting the bomb pulse signal through the PTn, and
19 once it gets through the PTn, then it just moves laterally
20 and takes the nearest pathway, which is going to be a cooling
21 joint. That's our working hypothesis.

22 DR. DOMENICO: Question from Ike Winograd.

23 MR. WINOGRAD: I'd like to suggest twelve more samples,
24 but I have no funding for such work.

25 Looking at that cross-section, the most likely

1 place for rapid infiltration is in the Tiva in the broken
2 zone. You have three samples there, two of which are pre-
3 bound; two of three are pre-bound. Could you go back and
4 take a dozen samples in there?

5 MS. FABRYKA-MARTIN: We've done it. We just don't have
6 the results back yet. There are a whole slew of samples we
7 have through that broken zone that we've processed, but--

8 MR. WINOGRAD: It should be the most liable to.

9 MS. FABRYKA-MARTIN: Right. Well, the other thing is,
10 as some of you may well remember, we have a number of
11 borehole profiles that we've measured, and pretty much every
12 single borehole, the Tiva Canyon, where it had a thin
13 alluvial cover, you had massive bomb pulse throughout the
14 Tiva Canyon welded, and often, even going down into the PTn,
15 so we have borehole evidence to support the penetration
16 through there in many, many locations, but none of the other
17 boreholes had previously shown anything reaching the TSw
18 unit, and that's the major thing that was new about the ESF
19 study.

20 DR. DOMENICO: We're ten minutes late, so I think we
21 should adjourn for lunch and meet at ten minutes after one.
22 How's that?

23 (Whereupon, a lunch recess was taken.)

24

25

1

2

AFTERNOON SESSION

3

DR. DOMENICO: Can we get started, please?

4

We're about to get into our afternoon session, and our first speaker is Tom Wigley, who I introduced yesterday, giving us the perspective on climate modeling uses and limitations.

8

MR. WIGLEY: Let me briefly summarize the topics that I'm going to discuss. Firstly, I'll say a little bit about what are climate models. Then I want to address the issue of how good are current climate models, how do we test the models to determine how good they are. How consistent are models when one compares different models produced in different institutions? How do we apply the models to the problem of climate prediction? And then I'll summarize some of the implications.

17

I'm not necessarily going to use all of the transparencies that are in my handout, and I may use a couple of others, because as this session has progressed, I've realized a little bit more where the emphasis ought to lie.

21

Firstly, let me just tell you what a climate model is, and there's a whole suite of climate models available of different complexities, but they all have one common characteristic, and that is that they are mathematical representations of a very complicated system involving

1 interactions between the atmosphere, the ocean, ice masses
2 and the land surface.

3 Nearly all of these models have to use computers in
4 order to run them, and the most complicated such models are
5 three dimensional General Circulation Models. Initially,
6 these models were of the atmosphere only, but the most recent
7 models include three dimensional structure of the ocean, as
8 well as all sorts of interactions with the boundary that the
9 atmosphere and ocean has around it.

10 General Circulation Model is then three dimensional
11 mathematical representations of physical principles that
12 control the behavior of the atmosphere and the ocean. There
13 are two different types of model that are used currently.

14 One type of model that's been used for many, many years,
15 a few decades at least, is Atmospheric General Circulation
16 Model that simulates the motion of the atmosphere and the
17 physical and dynamic processes. And that type of model in
18 the simplest form is coupled to a very simple representation
19 of the ocean that is referred to as a mixed layer ocean.
20 It's just a simple layer of water that has no contact or
21 communication with the deeper layers of the ocean. So one
22 only gets the interaction with the upper layer of the ocean,
23 and it's only possible to carry out so-called equilibrium
24 experiments with these types of model.

1 In other words, we can change the boundary
2 conditions, change the forcing, and allow the model to reach
3 a new steady state, and then see what the overall change is.
4 We don't have any time dimension in that type of
5 calculation.

6 The other type of model is one where we couple the
7 three dimensional atmospheric circulation to a three
8 dimensional ocean, circulating ocean, and that allows us to
9 look at time-dependent simulations that are very, very
10 important in the context of anthropogenic climate change, but
11 maybe not so important in the context of thousand year time
12 change, as is relevant to the Yucca Mountain problem.

13 These types of model are the only credible tool to
14 examine future climate change and make estimates of what
15 those changes might be, simply because the interactions are
16 so complicated that you can't just brain storm it and get a
17 reasonable answer. You actually have to use some sort of
18 mathematical model to cover all of these processes. And, of
19 course, the models that exist have to simplify some of the
20 processes, and many processes that we judge to be less
21 important are not even included, even in the most complicated
22 models.

23 The primary limitation of these types of model is
24 their spatial resolution. There are problems with temporal

1 output that I'll mention shortly. But the spatial resolution
2 of most models, of models that cover the whole globe, is of
3 order of hundreds of kilometers, and most applications of
4 these models require intimation on shorter spatial scales.
5 In particular, the area of the Yucca Mountain site is very
6 much less than hundreds of kilometers, and so we have to
7 employ some method to downscale from the coarse resolution of
8 a global model to the fine resolution required for an
9 analysis such as this one. And there are different methods
10 for downscaling, and one method, the method that's been used
11 by Starley Thompson, is to embed a high resolution model of
12 limited area within the global scale model.

13 The other standard technique is to use statistical
14 procedures to relate the larger scales, both the larger
15 temporal and the larger spatial scales, to smaller scale
16 processes, using observational data and then assume that
17 those relationships hold in a changed climate.

18 This diagram is one that appears in a report of
19 Starley's, slightly modified. This just shows the spatial
20 resolution of the GENESIS model, and I've shown the area
21 where the high resolution model is inserted, and that model
22 is driven by the boundary results from the coarse resolution
23 model.

24 Well, how good are General Circulation Models?

1 They are both good and bad. They can do some things very
2 well, and they can do other things very poorly. There are
3 some a priori limitations to these models, and the primary
4 one, as I mentioned already, is the coarse spatial resolution
5 that is really a constraint imposed by our computational
6 abilities, by the power of computers that exist today.

7 Because of the coarse resolution, that means a lot
8 of important details that affect precipitation on small
9 spatial scales, for example, orography, vegetation details
10 and so on, have to be simplified. In addition, processes
11 that occur on scales from meters up to tens of kilometers
12 cannot be represented individually, and they have to be
13 represented in some approximate area or average way, and that
14 process is called parameterization. And the most important
15 aspects of the climate system that have to be parameterized
16 in this way are those involving clouds, which clearly are
17 much smaller than the hundred kilometer resolution of the
18 model, and land surface processes, which can be very
19 heterogeneous over the resolution of these models.

20 For future climate projections, another problem,
21 and one that is particularly relevant in this case, is
22 deciding exactly what the forcing of the model should be in
23 the future. We can, of course, just consider natural
24 variations and then change the characteristics and the

1 seasonal and spatial distribution of incoming solar radiation
2 and then force the model at different times in the future,
3 but unfortunately we are already perturbing the climate
4 system fairly drastically by burning fossil fuels and other
5 anthropogenic influences, and those influences have to be
6 concatenated with the future natural processes that might
7 occur.

8 Just to give you one example, this is some work
9 that was done a number of years ago using a complicated
10 model, but not a full three dimensional model, but a model
11 that allowed one to look at time variations on a thousand to
12 ten thousand to hundred thousand year time scale, and this
13 particular model was run in two modes.

14 In one mode, it was assumed that the boundary
15 conditions for the large ice sheets in Greenland and so on
16 would stay the same in the future. And then in another mode,
17 the model was run by taking the Greenland ice sheet away.
18 And it's quite likely, I think, that if we continue burning
19 fossil fuels at the rate we're doing now, or at an increasing
20 rate, then global warming will, on a time scale of about ten
21 thousand years, cause the Greenland ice sheet to disappear.

22 And that radically changes the boundary condition
23 for the atmosphere and changes the whole atmospheric general
24 circulation of the northern hemisphere, and what this diagram

1 shows is two different projections; one where Greenland stays
2 in existence, and the other where Greenland disappears. And
3 the variable here is a proxy indicator of global mean
4 temperature.

5 So the time scale here is from zero to 80,000 years
6 into the future. The full line represents essentially the
7 global mean temperature fluctuations that might occur if
8 Greenland stayed there, and you can see there's this steady
9 cooling down to a minor period of about 20,000 years into the
10 future, and then a major one about 60,000 years into the
11 future. But if Greenland disappears, or is taken away
12 instantly at the start of the simulation, then there is no
13 cooling for 20,000 years, and it takes 60,000, 70,000, 80,000
14 years before the system catches up with what would otherwise
15 have occurred.

16 So boundary conditions are extremely important and
17 we don't really know how those boundary conditions are going
18 to change, although we can make informed guesses about them.

19 I'll skip the next transparency and go onto the
20 issue of how do we test climate models. How do we know how
21 good they are? There are a number of different procedures
22 that have been applied, and some of these have been used by
23 Starley Thompson.

24 One standard method is just to see how well one of

1 these models can simulate present day climate. A second
2 method is to see whether the recent changes in climate that
3 have occurred agree with what we think the anthropogenic
4 influences on climate have been over the last hundred years.

5 So in one case, we're looking at the status quo,
6 and the other we're looking at the changes over the last
7 century or so.

8 And then the final thing we can do is to look at
9 much longer time scales and try and simulate the
10 paleoclimatic past, and then use paleoclimatic data to see
11 whether that model simulation is reasonable.

12 In order to validate models against present
13 observations, and this is really the most important way to
14 test whether a model is credible or not, we need to look at
15 the mean state of the atmosphere, how variable it is from
16 year to year. And that's an issue that came up yesterday
17 with Alan Flint's presentation, and it relates to interannual
18 variability of climate, and a large fraction of interannual
19 variability of climate, particularly in this region, is
20 controlled by the El Nino sudden oscillation mechanism. And
21 if a model is unable to simulate that type of variability,
22 then one would be rather suspicious about how well it could
23 simulate variability, year to year variability of
24 precipitation in the future.

1 The other thing we need to do is test whether or
2 not the patterns of simulated climate agree with patterns of
3 observed climate. There are many different ways of making
4 those sorts of comparison, and I will show some good results
5 and bad results, and let's start with some results that look
6 reasonably bad.

7 This is a rather complicated diagram, but it
8 essentially shows how well the current crop of climate models
9 is able to simulate the variability of mean sea level
10 pressure over the globe, and the actual values of mean sea
11 level pressure.

12 If a model were perfect, then with these two
13 statistical measures, the values should be down in this
14 bottom left-hand corner here. And these black dots represent
15 results for different models, and what they show is that all
16 of these models are, and some of them spectacularly so, when
17 you try to simulate observed mean sea level pressure, it does
18 not agree with the observations, that there are significant
19 differences between the way the model simulates the behavior
20 of the atmosphere and the way the real world actually is.

21 There are some models down here that are reasonably
22 good, and the latest version of the GENESIS model I think
23 comes down in this area, although the version that's been
24 used in this comparison is somewhere up here. So that's

1 not a very good result.

2 Another not very good result is this attempt to
3 simulate the zonal or average on the longitude band, the
4 zonal mean total cloudiness. And the white curve there shows
5 the average of 30-odd models, and the black curve shows the
6 observation of data, and you can see that even the average of
7 the models doesn't agree terribly well with the observations.
8 So models are not very good at simulating observed
9 cloudiness distributions.

10 However, some models are very good at simulating
11 the spatial variations in precipitation. And what this
12 diagram shows, and I just want you to look at the top panel,
13 and the variable here is the pattern correlation or the
14 spatial correlation between the simulated precipitation and
15 observed precipitation over the whole globe. And the
16 correlation coefficients are given on a monthly time scale
17 for each month of the year, and every line through here
18 corresponds to a different climate model.

19 So there are some climate models where the pattern
20 correlation is really quite small on a global basis, where
21 there's only about 30 per cent of common variance or
22 correlation coefficient of around .5.

23 There are some other models up here where the
24 correlations are consistently around .8, and that's a very,

1 very good result, because if one actually compares different
2 observational data sets, the correlations are only between .8
3 and .9 between different observational data sets. So an
4 examination like this shows that some models, the best models
5 are actually able to produce precipitation patterns that are
6 just about as good as the reliability of our observational
7 data. So that's quite a promising result.

8 Another way of testing these models is to see
9 whether they can simulate recent changes in global mean
10 temperature, and this is an example where people at the
11 Goddard Institute for Space Studies tried to simulate the
12 cooling that occurred globally after the eruption of Mount
13 Pinatubo in 1991, and then the recovery after the eruption of
14 Pinatubo. And you can see that there's really quite a good
15 simulation there, so that's also a positive point as far as
16 models are concerned.

17 The second most important way of testing models is
18 to see whether they can simulate past variations. And this
19 is the issue called detection. Can we actually detect a
20 model generated signal of anthropogenic climate change in the
21 past record. I won't go through that. That's a complicated
22 issue, but the answer is yes, we can provided we force the
23 models with the right type of forcing.

24 The interesting point here is that if we assume

1 that only carbon dioxide or greenhouse gases were the forcing
2 agent for climate change over the last hundred years, then we
3 do not get a good result. But when we account for the effect
4 of sulfur dioxide emissions and tropospheric aerosols, then
5 the agreement is quite good.

6 So on balance, although models have known and
7 sometimes quite serious deficiencies, they do a reasonably
8 good job at simulating past changes, the present state of the
9 atmosphere, and on fairly coarse spatial scales.

10 Now, another important issue with regard to
11 estimating future change is whether or not climate models
12 actually agree with each other. And I'll show a different
13 result than is given in the handout here, and this is an
14 examination of the agreement between different models for
15 temperature and precipitation projections at the Yucca
16 Mountain site, or a region around the Yucca Mountain site.
17 And the simulations here that are compared are where the
18 amount of CO₂ in the atmosphere is doubled. So it's a
19 standard type of experiment, and there are I think eleven
20 models that are involved in this comparison, and of course
21 they all give different results.

22 The results here are presented in normalized form
23 or standardized form. In other words, what has been done is
24 to take the global mean warming and then divide the regional

1 warming or the regional precipitation changes by the global
2 mean warming.

3 Now, different models have different global mean
4 warming, and that's something that one can use as a scaling
5 factor. What we're more concerned with in this region is the
6 regionality of the prediction, the spatial pattern of the
7 prediction, and what I'll concentrate on here is the
8 precipitation changes and the results are shown by season.
9 The middle value here is the average of eleven different
10 General Circulation Models, and the average shows that in the
11 summer, for every degree of global warming, there's a small
12 reduction in precipitation, but an increase in precipitation
13 in the other seasons. But there's a range of values for
14 different models, and if you take the high end values, you
15 can see that all seasons show roughly a 10 per cent increase
16 in precipitation per degree global warming. And if you take
17 the other extremes, then the average is for a decrease in
18 precipitation.

19 So that on the basis of that intermodel comparison,
20 one would have to consider a range of possibilities that
21 included increasing and decreasing precipitation in just
22 about all seasons as a function of global mean temperature
23 change.

24 By the way, there's a very interesting result here,

1 and that is that you'll notice that in general, warmer goes
2 with wetter in these simulations, yet the paleoclimatic
3 evidence and the model evidence suggests that at 80 kbp,
4 cooler and wetter went together. So the system clearly
5 doesn't act in a simple way, and the reasons for that are
6 quite complicated, but they're basically associated with the
7 type of forcing that is imposed.

8 Let me just add one little point here, and that is
9 that if the world were to warm, say, by 5 degree celsius due
10 to increasing carbon dioxide and other greenhouse gases over
11 a period of hundreds of years maybe, then these changes would
12 go up to about 25 per cent in the mean, or maybe up to plus
13 50 per cent at the extreme.

14 What about future climate prediction? Well, that
15 was an example of future climate prediction. I will just
16 remind you of what the needs are, and then I can use this as
17 a focus for my summary points that I'm going to get to next.

18 Firstly, with this particular problem, the
19 variables that we need are on a daily time scale. So there's
20 a critical issue here of whether or not a General Circulation
21 Model can produce credible daily information. And the answer
22 to that is if we want to just take the data straight out of
23 the model, the answer is no. We also would like to have
24 daily temperature and cloudiness information and maybe other

1 variables on a daily basis because it's this day to day
2 variability that determines the infiltration rate.

3 The spatial scale that we require is very small.
4 It's down to less than a kilometer spatial scale. The
5 spatial scale of the global models is hundreds of kilometers,
6 and even if we embed a high resolution model, we can only get
7 down to a spatial scale of maybe 20 kilometers at best. So
8 there's a mis-match between the needs of the hydrologic
9 community in the Yucca Mountain area and the credible output
10 of General Circulation Models.

11 Now, let me just summarize the main points here.
12 The first point is that General Circulation Models, although
13 they have weaknesses, they have strengths as well, and their
14 main strength is that they are the only credible tool for
15 estimating future climate. There is no other way to do this.
16 We can't just take time series and extrapolate them to the
17 future, or anything like that. We have to use physically
18 based General Circulation Climate Models.

19 These models have weaknesses, but they also are
20 quite good, given the complexity of the problem of simulating
21 present day climate and past variations and paleoclimatic
22 conditions as well.

23 The primary defect of these models or deficiency is
24 the coarse spatial resolution. We can get over that partly

1 by embedding a high resolution model in the coarse resolution
2 model, but that still doesn't get us down to the requirement
3 of resolution of one to ten kilometers for this particular
4 problem area.

5 My judgment is that these models, although one
6 would not want to place any faith in them quantitatively,
7 that one can at least get qualitatively reliable information.
8 In doing any future projection, we must consider how the
9 natural processes and the human factors combine together. We
10 can't ignore the human factors. Even though we may solve the
11 problem of anthropogenic climate change on a time scale of a
12 few centuries, we're still going to be left with high levels
13 of carbon dioxide in the atmosphere. We still have the
14 possibility of melting the Greenland ice sheet, the
15 possibility of changing vegetation patterns and so on. Those
16 changes might last for thousands of years, so we can't ignore
17 those changes.

18 Individual models show quite different results
19 sometimes, and to comprehensively understand the range of
20 possibilities in the future, we should consider results not
21 just of one model, but of a suite of models, and it's
22 possible to do that without necessarily performing the
23 required experiments with a lot of models. We can inter-
24 compare models for standard cases where the comparisons or

1 calculations have already been done.

2 Because of the uncertainties, and this word has
3 been used already, we should consider these model simulations
4 as scenarios, but they are scenarios that span, or can if
5 carefully chosen, span the range of future possibilities.

6 And my last few points are more directed toward
7 this specific problem area, and firstly, as I said before, on
8 the spatial scales that are essential for this study, I don't
9 think we can believe the precipitation results of General
10 Circulation models. We have to be very careful in
11 interpreting those results. That's not to say that they are
12 useless. In fact, they do give us a lot of useful
13 information, but that information has to be combined with
14 other types of information in order to reduce the coarse
15 resolution information down to relevant spatial scales.

16 And the two approaches for doing that, and this is
17 beyond the embedding of a limited area model, the two
18 approaches available are to use statistical techniques, or to
19 use stochastic simulation techniques. We've already been
20 given a good example of the use of stochastic simulation
21 techniques. And so my bottom line is that what is required
22 is a careful interlinked study that involves not only General
23 Circulation Models, but also statistical downscaling methods
24 and stochastic simulation methods. These three form the

1 three sides of a equilateral triangle, and I don't think that
2 we can just take one side; the whole thing will fall apart.

3 Thanks very much.

4 DR. DOMENICO: Thank you, Tom. Any questions from Board
5 members? Staff?

6 MR. WIGLEY: Either nobody understood me, or it was a
7 perfect presentation.

8 DR. REITER: Leon Reiter from Staff. Tom, one thing
9 that we've been wrestling with is how do you use the--and
10 maybe we'll talk about this later--how do you use the
11 paleoclimate data, the stuff that, say, Rick Forester or Ike
12 has been talking about, how do we use that together with the
13 modeling? What role does the modeling play?

14 MR. WIGLEY: Well, I think the primary role for the
15 paleoclimatic data is--well, there are two roles. One is
16 validating the General Circulation Models, and that's the
17 sort of thing that Starley has already done. He has shown
18 that his model is able to simulate qualitatively the correct
19 changes in precipitation and temperature on that
20 paleoclimatological 10,000 year time scale. So that's a very
21 important aspect of the use of paleoclimatic data.

22 The other aspect is to use it directly to bracket
23 the range of possibilities in developing a credible set of
24 future climate change scenarios.

1 DR. PALCIAUSKAS: I'd like to ask a question concerning
2 the logic of using an average of the multitude of models,
3 because certain models could be imperfectly crafted, then
4 what's the purpose of including them in an average?

5 MR. WIGLEY: I can talk for hours on this particular
6 topic, but it just happens, as one of my diagrams showed,
7 that when a suite of models is averaged together, then the
8 average validates better than any individual model. In other
9 words, the average of a number of models gives better
10 agreement with the observed status quo than any individual
11 model.

12 And the reason for that is because although the
13 models are basically similar in their large scale equations
14 of motion and other equations, they all consider the small
15 scale details in different ways, and those so-called
16 parameterizations are not necessarily internally consistent.

17 They've got to be based on sound physical
18 principles, but they are not internally consistent in the
19 sense that when you look at the output of a model and see
20 how, say, temperature and precipitation relate to each other,
21 globally or regionally, then those relationships between
22 different variables for any individual model will not agree
23 with the observed relationships. And that's actually noise,
24 and when you average the models together, you get rid of some

1 of that noise, and with the present state of the modeling
2 art, you actually improve things by averaging it.

3 Even when you include really manifestly poor models
4 in the averaging process, you can still improve things a
5 little bit. I think we've just gotten to the point now where
6 the very best models with the highest spatial resolution,
7 down to a couple of degrees by a couple of degrees, are as
8 good as, and in some areas, better than the average. So
9 we've just gotten to that point where the best models can do
10 away with the need for averaging things together to get rid
11 of the noise.

12 DR. CANTLON: You used the Greenland ice sheet as one of
13 the types of lags in picking up the anthropogenic set of
14 effects. But there are other major ones. Could you sort of
15 touch on what some of the other ones are?

16 MR. WIGLEY: Well, the time scale for significant
17 changes in the Greenland ice sheet is thousands of years.

18 DR. CANTLON: Ocean impacts; again, a big lag?

19 MR. WIGLEY: Well, the types of experiment that Starley
20 and other models can perform in this case are not time
21 dependent experiments, as Starley will probably explain. So
22 we only can consider time slices at different points into the
23 future. So ocean lag effects don't really come into this.

24 DR. DOMENICO: Thanks, Tom.

1 The next presentation is going to be by Starley
2 Thompson, and it's going to be on future climate modeling.

3 MR. THOMPSON: Well, we at NCAR have been working on
4 this problem of future climate modeling for the Yucca
5 Mountain project for quite a while now, and it's only been in
6 the last year or so that we've gotten to the point of
7 actually doing so-called future climate analyses. And I'll
8 report on our first one at the end of my presentation.

9 The objective of the future climate modeling is
10 relatively simply stated, and that is we want to provide
11 estimates of the future climate conditions so that it can be
12 useful in estimating the effects on future hydrologic
13 conditions. So, in effect, we're providing estimates of
14 future boundary conditions either for qualitative models or
15 quantitative models or very detailed quantitative models,
16 hydrological models.

17 Our strategy for doing that is three-fold, and has
18 been in place for several years now. First, we wanted to
19 establish that we could in fact simulate climates with
20 reasonable fidelity, develop a climate modeling system that
21 can be used for the project.

22 We also wanted to be able to identify future
23 climate scenarios that might occur in the next 10,000 to
24 100,000 years, provide boundary conditions for our so-called

1 future climate simulations. This second bullet was actually
2 done several years ago, and has been in a continuous state of
3 refinement ever since.

4 And, lastly, the meat of the problem, we actually
5 wanted to perform those climate simulations for the future
6 and then provide our results for both hydrological modeling
7 and performance assessment use.

8 The modeling strategy is worth taking a little bit
9 of time on. Fortunately, Tom went before me and gave you an
10 introduction to climate modeling and general circulation
11 modeling.

12 As he noted, it's not feasible to perform long
13 continuous climate simulations, and we do what we refer to as
14 snapshots or steady state climates. The computational
15 limitations of our super computers and of our models and of
16 our understanding of what drives climate on 100,000 year time
17 scales means that we can't set up the model and just run it
18 forward in time for 100,000 years. It's just simply not
19 feasible.

20 Instead, what we do is perform a finite set of
21 short simulations that are designed to represent equilibrium
22 climate states, and those states are an equilibrium with
23 boundary conditions that we specify. For example, if we want
24 to know what a last glacial maximum climate looks like for

1 the Yucca Mountain site, for Nevada in general in the
2 simulation, we set up the model with boundary conditions
3 suitable for last glacial maximum, put in an ice sheet,
4 change the solar orbital variations, that sort of thing.

5 So as I said, we do it by prescribing boundary
6 conditions that are slowly varying, and then we do the
7 modeling based on that. So it's not a complete model of the
8 full earth system, which is still some decades away, I would
9 think.

10 Tom showed you a version of this. What we're using
11 is a nested modeling system, because global climate models,
12 to be economical to run, have to run with a fairly coarse
13 grid, and we embed a high resolution general circulation
14 model. It's effectively the same kind of model, only run
15 with a finer resolution.

16 Effectively, inside the output of the global model,
17 the two models do not run simultaneously, they run in a two
18 stage sequential process. We run the global model first,
19 save-away output, then run the regional model. This actual
20 domain highlighted here is an older domain we were using.
21 Tom actually had a picture showing the current domain. It's
22 about half that size, centered just over the Western United
23 States.

24 The models that we're using for this project were

1 both developed at NCAR. The global model is an outgrowth of
2 the so-called community climate model operation at NCAR,
3 which is a global general circulation climate modeling
4 activity. The particular version we're using is Version 2 of
5 GENESIS, which is our latest developed version. It has about
6 a 400 kilometer grid spacing globally. It provides boundary
7 conditions to the regional model.

8 The regional model is a Version 2 of the regional
9 model developed over the last decade by Filippo Giorgi and
10 his crew at NCAR apart from the Yucca Mountain project. It
11 also has a long lineage and we're running it at a 50
12 kilometer grid spacing. It's still quite coarse compared to
13 topographic relief at the site.

14 Here is a picture of the actual regional model
15 domain and the topography contoured that the regional model
16 sees. The contour interval, I believe, is about 200 meters.
17 Even with that small a domain and 50 kilometer resolution,
18 the topography of course is highly smooth. A 50 kilometer
19 resolution was chosen experimentally after several tests as
20 being the minimum resolution needed in order to resolve the
21 rain shadow effect, the major rain shadow effect of the
22 Sierra Nevada Mountain Range, which is a single large factor
23 determining the relative validity of that portion of Nevada,
24 the Great Basin area.

1 We could go to higher resolution. The model is
2 capable, the actual continuous equations are capable of going
3 down to about a 10 kilometer resolution, but it would be
4 relatively unaffordable to run it at that resolution.

5 So why are we doing all this? Tom has already told
6 you that succinctly climate modeling gives us the potential
7 to identify and quantify unprecedented, non-analog climate
8 behavior. Non-analog is essentially a buzz phrase referring
9 to things that have not necessarily happened in the past, or
10 may have happened in the past, but we just don't have any
11 information about. The obvious one is anthropogenic climate
12 change.

13 The limitations? Again, very succinctly, the
14 models are imperfect, as Tom showed you, either because of
15 numerical approximations or we've left things out or we put
16 things in incorrectly. In terms of the Yucca Mountain
17 project, since we have to reduce our effort down to a limited
18 number of scenarios of future climate change, effectively
19 that becomes a limited number of boundary condition
20 scenarios, we may neglect an important one. We may miss it.
21 This is largely dependent on expert judgment, paleoclimatic
22 evidence, theoretical evidence.

23 And, lastly, even if we had a perfect model and
24 knew precisely which scenarios we wanted to run, the models,

1 by virtue of being highly demanding computationally, we have
2 finite runs. There's simple statistical sampling error.
3 Because they're not able to run the models long enough, you
4 may miss some significant climatic event that might only
5 occur once every 50 years or every ten years, depending on
6 how long you've run the model.

7 The models have gone through fairly extensive
8 testing. As I said, they both have long histories to them,
9 different model versions. The global model goes back in
10 terms of its antecedents for many years. The same thing is
11 true of the regional model.

12 A lot of our work at NCAR takes place outside of
13 the boundaries of the Yucca Mountain effort, but the
14 expertise that has developed has been brought into play into
15 this effort as well.

16 The regional model and the global model, for that
17 matter, have been tested specifically for the Yucca Mountain
18 project, however, to see if they work together well in
19 coupled mode, and also in terms of looking at present day
20 climate around the Yucca Mountain site as simulated by the
21 regional model and climate as simulated over 21,000 years
22 ago, or the last glacial maximum around the Yucca Mountain
23 site. Those two efforts, those two analyses were done in the
24 last few years as precursors, sort of the validation phase of

1 our modeling effort.

2 This figure here just shows an example of enhanced
3 topography. It's augmented. This looks strange here. One
4 of the things we have in this model is the ability to go in
5 and change the topography around. Since we're smoothing the
6 topography anyway because it goes to a 50 kilometer grid, we
7 ask the question, well, what happens if we modify the
8 topography to really make it simulate all the peaks of the
9 mountain ranges instead of the average. That's the sort of
10 thing that you can play around with to see what the
11 sensitivity of the model is. It turns out in that case it
12 was not a good thing to do, so we went back to the regular
13 topography.

14 We have begun comparing the results, the model
15 results, to observations, temperature, precipitation,
16 meteorological observations around the site. Nothing nearly
17 as extensive as, for example, Alan Flint does, but just to
18 give us an indication of how well the model is doing.

19 The picture here shows boxes of various sizes that
20 we chose for averaging site data. The little dots are
21 weather stations. That's not all of the rain gauges that are
22 there, obviously, but those are the ones that are available
23 as regular weather stations. And we've averaged up over
24 different size boxes and compared the averages of the model

1 to the averages of the data, and it turns out it doesn't make
2 too much difference which averaging size you average over.
3 Everything I'm going to show you in the line plots to follow
4 are averaged over the larger box to get rid of some
5 statistical noise.

6 In our early efforts, which have been the efforts
7 over the last two or three years, they were largely just
8 testing efforts, which means that we were running the
9 regional model for sort of the minimum amount of time
10 necessary to get the answers that we were looking for, which
11 turned out to be two year integrations. This is two years of
12 monthly average precipitation from the regional model for two
13 specific years, 1989 and 1992. This is just running the
14 regional model, not the global model.

15 We used observed boundary conditions for those two
16 years, and we ran the regional model, and the reason we chose
17 those two years is because they had very different observed
18 precipitations. 1992 was an El Nino year, which as you know
19 from yesterday's discussions, makes it a lot wetter at the
20 site. So here's the two years as simulated by the model, and
21 sure enough, the regional model does in fact show 1992 in the
22 wintertime, late wintertime, to be quite a bit wetter. The
23 mean is just the average of those two years.

24 So how does that compare to reality? Here's 1992,

1 the wet year, compared to the observations averaged within
2 150 kilometers of the site. So this is an average involving
3 on the order of, say, 36 regional model grid cells and all
4 the stations within that box for that time. As you can see,
5 there's a very good correlation between the regional model's
6 precipitation and the observed average precipitation, and
7 that was very heartening because it meant that the regional
8 model at the very least, if it's given good boundary
9 conditions, will in fact capture those sorts of anomalous wet
10 years in that region.

11 Then they went on to test the full up modeling
12 system, full up meaning both the combined global model and
13 regional model, and the paleoclimate test case. We chose
14 21,000 years ago, is roughly the time of the last glacial
15 maximum, ran the global model with prescribed ice sheets,
16 CO₂, insolation correct for 21,000 years ago, and prescribed
17 C surface temperatures from the climate C surface temperature
18 data set, ran the global model, took the output from the
19 global model, put it into the regional model, ran the
20 regional model for two years, and here's the results of the
21 regional model for that time. Again, it's just a two year
22 average, but this is undoubtedly statistically significant.

23 The model averages anywhere from a couple of
24 degrees colder to up to five to six degree colder in the

1 summer, again averaged over that box around the Yucca
2 Mountain site, and this compares favorable, at least
3 qualitatively, to what Rick Forester was saying this morning,
4 namely colder, wetter. Here's the colder. Now I'll show you
5 a wetter.

6 The same thing for precipitation. Again, only two
7 years, so it's problematic how statistically significant it
8 is, although I think the winter is significant. Since this
9 model doesn't have El Ninos, it's fairly reproducible from
10 one year to the next. Quite a bit wetter in the cool season;
11 not much change in the warm season. This is about a factor
12 of 75 percent increase in precipitation and five to six
13 degrees colder in the summertime. So qualitatively, quite
14 promising that the model is in fact capable of reproducing a
15 known large climate change.

16 So we concluded from the testing phase the
17 following. They were in fact able to adequately simulate the
18 wet years for the YMP site region. This is given the
19 provision that we're given reasonable boundary conditions.
20 So it's really a test of the global model now, providing the
21 right interannual climate variability. The kinds of global
22 models that we run, since they don't have coupled dynamical
23 ocean models and are not terribly high resolution, do not
24 produce El Ninos. So the fact that we don't produce El Ninos

1 has to be sort of added in to anything that we produce as an
2 overlay of extra variability.

3 We already know what El Ninos do pretty much. What
4 we're trying to do is look at the big background type climate
5 changes to which you might add El Nino after the fact.

6 We correctly simulated qualitatively the climate of
7 the YMP site region as being colder and wetter for 21,000
8 years ago. And we figured we were ready to take on the task
9 of a future climate analyses.

10 As I mentioned earlier, the selection of future
11 climate scenarios is really one of expert judgment. We have
12 to reduce the future climate scenarios or future climate
13 boundary condition sets to a finite set in order to be
14 manageable. We call those the future climate scenarios. So
15 this was actually first done on the order of six or seven
16 years ago, and we've effectively been following the set that
17 we created along with Tom Crowley when he was still working
18 in the project, since then with some minor modifications.

19 You look at paleoclimate, what present climate
20 does, for example El Ninos, theoretical arguments about the
21 future, projections for anthropogenic effects, and you come
22 up with a set of scenarios, which I'll show you in the next
23 overhead.

24 The selections try to anticipate conditions

1 yielding greater effective moisture in the Yucca Mountain
2 region. So we say we're biased. We want to make sure that
3 we get things in there that are likely to produce wetter
4 conditions, and the choice and the schedule, the actual
5 schedule in which we produced the analyses is highly subject
6 to the limitations of our computer resources.

7 We started the first of the future climate
8 scenarios in this year. For all the future climate
9 scenarios, you need a control case to compare to, so that's
10 one of the cases we've been working on. And the first one we
11 wanted to do was a two time CO2 case, because we preferred to
12 do the non-analog cases, the ones for which there is no
13 paleoclimatic evidence, first because those, in my opinion,
14 are the highest priority cases for the modeling.

15 The next fiscal year I think we'll be able to do
16 two out of the following: either a very large anthropogenic
17 greenhouse case, and that case might be the kind of case that
18 would eliminate the Greenland ice sheet, for example, go back
19 to the two time CO2, but ask the question what would happen
20 if you entered a permanent El Nino state with that climate,
21 or perhaps go back to 21,000 years ago and do a longer
22 integration and do a more detailed comparison with the
23 results of the paleo people to see to get better validation
24 on the model. We should have capability of doing two out of

1 those three, and that's to be decided.

2 Other potential scenarios on the list, and these
3 have been effectively on the list, as I've said, for five or
4 six years, an intermediate glacial case. As Rick Forester I
5 believe noted this morning, or was it Ike, anyway one of the
6 two noted this morning that as paleoclimate observational
7 evidence moves along rapidly, it's, for example, not
8 necessarily clear that there was a mass of fully grown ice
9 sheets up until maybe 40,000 years ago. So an intermediate
10 glacial case may be quite relevant to something that might
11 happen, say, in the next 10,000 to 20,000 years.

12 On the other hand, as another unprecedented case,
13 at least as far as we know, we could develop the ice sheets
14 even larger and ask what would happen in that case. And also
15 with increasing atmospheric CO₂ and global warming, there is
16 some evidence from modeling, coupled ocean modeling in the
17 North Atlantic deep water that circulation might collapse,
18 which we can mimic, even though we don't want dynamical ocean
19 models, we can mimic this by modifying the C surface
20 temperatures in our model and asking the what if question on
21 that.

22 We've just gotten preliminary results from the two
23 time CO₂ future climate analysis, so this really represents
24 the first future climate analysis result that we've produced

1 and presented anywhere for the Yucca Mountain project. This
2 shows the change in winter precipitation between the two time
3 CO2 case and the present day, showing a large--this is a four
4 year average showing a large and coherent pattern of increase
5 over the central and southern West Coast of the United States
6 and, in fact, it results in an increase in the Yucca Mountain
7 site as well.

8 Let me just show you the temperature curve. This
9 is using the fully coupled GENESIS regional modeling system.
10 The temperature increases on the order of two to three
11 degrees C pretty much uniformly throughout the year. This
12 is, again, averaged over that box around the Yucca Mountain
13 site. And from what Tom showed, I think this is consistent
14 with the average of the eleven models.

15 The sensitivity of the GENESIS model to a CO2
16 doubling is two and a half degree Celsius, which is right in
17 the middle of the swarm of model estimates, and two and a
18 half degree is the generally accepted sort of centroid
19 number, best estimate for the present day, and GENESIS fits
20 right on that.

21 In terms of precipitation change, again averaged
22 within the region of the site for double CO2, it's again very
23 consistent with the average of the eleven models that Tom
24 showed, and GENESIS, at least this version of GENESIS, is not

1 one of the eleven models that Tom had in his little table.
2 An increase in the winter months, and a slight decrease in
3 the summer months. Summer may not be statistically
4 significant since this is only a four year average. The
5 winter, I'll have to go in and do the statistics on this for
6 the report that I'm working on this month to see if it is,
7 but as Tom pointed out, we have a model that shows you make
8 it colder, 21,000 years ago, you make it wetter. Increase
9 the CO2 to make it warmer, and you make it wetter. So cold
10 and warm don't necessarily equate because the real world is a
11 complicated dynamical system.

12 Lastly, where are we going with all this, which is
13 really the key element here? Our output from these future
14 climate analyses, of which this double CO2 one is the first
15 example, will be going to two different areas. We'll be
16 going to Alan Flint, which is sort of through the
17 hydrological modeling area, and we'll be providing him output
18 from the regional model of daily values of temperature,
19 precipitation and cloud cover in hopes that he will be able
20 to use those data to actually drive his infiltration models.
21 He should be able to use, say, four years output from our
22 modeling, run it through his statistical process to generate,
23 say, a 100 year statistically generated time series that are
24 consistent with our model, and then use those for his

1 infiltration calculations.

2 He'll also provide data to performance assessment
3 directly. For those data, they'll be more time averaged, and
4 statistical extreme values measures the variability will also
5 be provided.

6 So I think we're moving right along. Even though
7 it's been a long road, I think we've made good steady
8 progress and are now in a position where we can produce
9 something quite beneficial.

10 DR. DOMENICO: Thank you. I have a question first.

11 I saw I think two regional models, one of which is
12 Western United States, and the other is part of Nevada and
13 Southern California. Do you use the Western United States to
14 establish the boundary conditions for that smaller region?

15 MR. THOMPSON: No. We only have one step in nesting.
16 Okay, I'm just trying to get what you were referring to.

17 DR. DOMENICO: I did see a small region, it was Yucca
18 Mountain, Nevada, and I've seen that. You keep referring to
19 that as your regional model.

20 MR. THOMPSON: This is the actual regional domain of the
21 model.

22 DR. DOMENICO: The Western United States?

23 MR. THOMPSON: That's the actual computational domain.

24 This is just a zoomed-in view. It has nothing to do with the

1 computational domain of the model. This is just a zoomed-in
2 view on Southern Nevada and California illustrating where we
3 chose averaging boxes.

4 DR. DOMENICO: Okay. So that is also 50 kilometer
5 spacing, the same as the other one, grid spacing?

6 MR. THOMPSON: Yes. I mean, the 50 kilometer grid
7 spacing is the basic resolution of the model, supposedly
8 fundamental quanta that we get to average over when we
9 average the model results.

10 DR. DOMENICO: In other words, the detail that we're
11 seeing at Yucca Mountain is coming off of the detail that we
12 see in all of Western United States?

13 MR. THOMPSON: That's right. Right, we end up
14 simulating all of the Western United States and out into the
15 Pacific just in order to get the detail around Yucca
16 Mountain. For that matter, we end up simulating the whole
17 globe.

18 DR. DOMENICO: Just to get the detail. Was there
19 another Board question? Don, did you have something? John
20 Cantlon, Board?

21 DR. CANTLON: Yes, on one of your overheads, you
22 indicated that one of the areas that would be of interest
23 would be the effectiveness of the moisture, moisture
24 effectiveness.

1 MR. THOMPSON: Right.

2 DR. CANTLON: You do have temperature data. Have you
3 done anything in combining the two to get some sort of a
4 moisture index effectiveness? For instance, if you could get
5 a better prediction of how much of it came as snow?

6 MR. THOMPSON: The model actually does separate or make
7 a distinction between snow and rain. And, in fact, as part
8 of the output for this two time CO2 case, we will include
9 information on snow cover, snow fraction, as well. The
10 regional model also has the ability to look at soil moisture,
11 infiltration, runoff, but at a very coarse scale. Even
12 though the actual physical model, the land surface model, is
13 inside the regional model, it's a relatively good model, a
14 state of the art model called BATS.

15 The coarse spatial scale pretty much makes that
16 useless for anything other than qualitative looking at it.
17 For the 21,000 year ago paleoclimate simulation that we did,
18 we actually did look at runoff and soil moisture that we
19 produced to make certain that those variables which are
20 effectively more relevant to effective moisture were still
21 consistent with the paleoclimate evidence. And, in fact,
22 quantity such as soil moisture actually looks better than the
23 precipitation because with it being colder and the
24 precipitation going up, soil moisture goes up that much more.

1 DR. DOMENICO: I have one more. Would the 50 kilometer
2 spacing, wouldn't all of Alan's measurement points more or
3 less have to be lumped into one or two points? I'm sure that
4 he has more than one precipitation station. He may have
5 several precipitation stations within a 50 mile radius. How
6 do you handle that?

7 MR. THOMPSON: Is Alan still here?

8 DR. DOMENICO: Well, if he did have, how would you do
9 that?

10 MR. THOMPSON: Well, he has a lot of points close in,
11 and he has far-flung points as well.

12 DR. DOMENICO: Yes, but you have a lumped system over
13 there with one point.

14 MR. THOMPSON: That's right. We have what effectively
15 is trying to represent the average over a 50 kilometer grid
16 cell, and I think I'll let him take it from there.

17 DR. DOMENICO: I would just suspect there's a lot of
18 variation in his data within a few models.

19 MR. THOMPSON: Oh, absolutely.

20 DR. DOMENICO: And then you're going to be using
21 basically the average of this to represent that?

22 MR. THOMPSON: That's right. I mean, what we're trying
23 to do is just get the right average over a 50 year or 100 or
24 300 kilometer averages on the assumption that the properties

1 of that average can then be matched down to more detailed
2 spatial properties using some kind of downscaling. It can
3 either be very simple or be very elaborate, but there needs
4 to be another downscaling step past the regional modeling
5 step. This is what Tom noted, you know, there's a triangle
6 and we've got effectively two sides of it. There's one more
7 step that needs to be done, and it can be done simply or more
8 complicatedly, but it will have to be done in order to
9 represent precipitation on the Yucca Mountain site.

10 MR. HANAUER: I'm Steve Hanauer with DOE. If you could
11 please, sir, find the view graph that had the conclusions
12 from the testing phase? You showed us a very small number of
13 simulations, and my question was these conclusions, that it
14 adequately simulates the climate variability and correctly
15 simulates the glacial climate. Could you characterize for us
16 what the basis is? Is it one, ten or a hundred such
17 simulations, or what is behind those conclusions?

18 MR. THOMPSON: It's not one and it's not ten. It's more
19 like three or four. The number of simulations that we've
20 done for the present-day climate, if you don't count the long
21 history of the model development, has been on the order of
22 three, of which I only showed you the latest one. No
23 regional model that I know of has ever been run for more than
24 eight to ten years because of the tremendous computational

1 requirements.

2 So given that, and I think in fact the eight year
3 run was done at NCAR, given that, it's hard to say the model
4 does a perfect job, or even an excellent job or a great job
5 at simulating interannual variability because we haven't done
6 a lot of cases. But we have very limited computational
7 resources.

8 We've had to try to be smart in the choice of our
9 years that we do, so we deliberately picked, for example, an
10 El Nino year and a dry year and compare the two and show that
11 the model predicts wet, you know, extra precipitation in the
12 El Nino year, and less precipitation in the dry year. And we
13 hope that will apply to every time there's an El Nino
14 condition and every time there's a dry condition. But, no,
15 we haven't done any exhaustive testing to see if that was
16 just a fluke of the regional model or not.

17 In terms of the paleoclimate test case, again, it
18 was only a two year integration. As I said, we try to keep
19 those integration links down to the minimum necessary to get
20 the qualitative conclusion, and the qualitative conclusion is
21 after two years, it became pretty obvious the model was
22 colder and wetter and we didn't need to run it out any
23 further. It's unlikely that it's going to change.

24 And so that was the minimum set that we needed to

1 do, that we set out to do as part of the original study plan
2 to verify the model, one, can produce interannual variability
3 when driven with the right boundary conditions and has the
4 right quantitative result to that and, two, can reproduce a
5 paleoclimate vastly different than today, which was also
6 wetter at the Yucca Mountain site.

7 DR. DOMENICO: Thank you very much, Starley. I think
8 we'd best move on here.

9 The next presentation is by Michael Wilson of
10 Sandia on TSPA insights into the impacts of climate and
11 Chlorine-36.

12 MR. WILSON: All right, I'm supposed to talk about the
13 things that you've been hearing about over the last day from
14 a TSPA perspective, and in case anyone here doesn't know,
15 TSPA stands for Total System Performance Assessment and it
16 refers to studies that pull together all the components of
17 the disposal system, the waste form, the waste container, the
18 engineered barrier system and all the components of the
19 natural system to make calculations of quantities related to
20 the safety, the waste isolation, things like calculations of
21 doses to individuals and also for comparison with
22 regulations.

23 To start with, I want to talk a little bit about
24 how performance assessment fits in with the things you've

1 been hearing about, the site characterization program, and
2 this part of the site characterization program in particular.
3 First of all, I think I should emphasize that the studies
4 that you've been hearing about over the last day based on
5 TSPA calculations to date are among the ones that we consider
6 to be key to predicting repository performance.

7 First of all, in a number of TSPA studies,
8 repository performance has consistently been shown to be very
9 sensitive to the percolation flux at the repository, which is
10 closely tied to infiltration. The distinction is that
11 percolation is the flux at depth; infiltration is the flux
12 right at the surface, at the top. If you have vertical flow,
13 they're the same. If you have non-vertical flow, then it
14 redistributes itself.

15 Secondly, repository performance is very sensitive
16 to seepage of water into the emplacement drifts, and in
17 particular to contact of waste containers with seeping water.
18 And that is, of course, very closely tied to the percolation
19 flux, first of all, but it's also very closely dependent on
20 the division of the flow, the spatial heterogeneity of the
21 flow, and in particular how it's divided among matrix and
22 fracture flow.

23 The idea is that matrix flow, there's a good chance
24 because of capillary force, we'll be able to go around the

1 emplacement drifts and not flow into them. Whereas, fracture
2 flow has much less capillary force, and so is not as likely
3 to be deflected by the drifts. And so if you have fracture
4 flow, it can probably flow freely into the drifts.

5 And then lastly, repository performance is
6 sensitive to climate changes. That's been seen in studies
7 that have been done.

8 In PA, we have talked a lot to various PIs and site
9 characterization, and we have provided feedback on what parts
10 of the studies we think are of most value to us in what we
11 need for performance assessment.

12 We're currently in the middle of some studies to
13 evaluate how this wealth of new information from the ESF
14 might affect our past TSPA predictions. Probably most people
15 hearing, though, that the last big TSPA study was called TSPA
16 1995 because it took place last year, and the next big one is
17 currently being called TSPA-VA, VA for viability assessment,
18 and as was shown yesterday, it is due to be completed in
19 1998. So there's a big gap between the big studies and of
20 course in the meantime, we need to be evaluating current
21 information to help us in our development work.

22 Something that's important to say I think is that
23 some of the data that you have been presented are things that
24 we use directly in performance assessment, like infiltration

1 values. The full-blown TSPA model, including all the
2 components of the system, has an input for infiltration which
3 we can take directly from Alan Flint, possibly with some
4 spatial averaging or something like that, and use it
5 directly.

6 Some of the data, especially the various kinds of
7 isotopic data, are things that don't go directly into a TSPA
8 calculation, but they are background, so to speak. They help
9 us in determining which models are appropriate to use and
10 what appropriate ranges of parameters for some of the models
11 might be, the kind of thing that Andy Wolfsberg talked about
12 this morning.

13 In some of these cases, there may be multiple steps
14 of modeling and interpretation between the data and our use
15 of it in performance assessment, and it's important to
16 realize that. And the other thing that I think I should
17 mention is that the site characterization organizations have
18 the responsibility for doing detailed process level modeling,
19 and because of the greater scope of our TSPA calculations,
20 including so many different kinds of models, we typically use
21 simpler or abstracted models for the individual components of
22 the system.

23 And, lastly, I wanted to mention that it's
24 currently planned that starting at the beginning of next

1 fiscal year, we are going to be forming working groups
2 composed of people from both performance assessment and the
3 site characterization groups to define exactly what the
4 models we should use for TSPA-VA are and what the data sets
5 we should use are. So we should be working very closely on
6 that, and I think that will be of a big benefit to the final
7 product of TSPA-VA.

8 For the rest of the presentation, I have two parts,
9 first on isotope and ESF kinds of things, and second on
10 climate kinds of things. And when I talk about the
11 importance, as it says there, what I mean is importance to
12 repository performance.

13 Starting out with isotopic studies and ESF and that
14 kind of thing, first of all, as has been noted more than once
15 in the last day, the various kinds of isotopic data that we
16 have been getting from the ESF and from boreholes are
17 indicative of the existence of flow in isolated fast paths.
18 I don't think we have enough information right now to tell
19 the fraction, how much of the flow is in fast paths and how
20 much of it is in slower flow, but we know that there is some
21 of both.

22 High levels of Chlorine-36, and I could mention as
23 well tritium, have been found in a number of places, and
24 these indicate the places where there was presumably water

1 flowing in fractures sometime in the last 40 years, and
2 that's places where there might have been seepage into the
3 tunnel at the time it was flowing.

4 At the present, we don't see any such seeps. We
5 see a dry ESF tunnel. We don't know really how much that's
6 being obscured by ventilation at the present. I think it's
7 going to be very interesting to see the kinds of experiments
8 that were talked about yesterday by Alan Flint and Dennis
9 Williams in which they seal off part of the tunnel for a
10 while or put up plastic sheets or something so that we can
11 negate the effects of ventilation for a while. All
12 these various observations are important because they give us
13 constraints on the models that we use in performance
14 assessment.

15 I'm going to talk a little bit about models now,
16 flow models. First of all, a model that has been used a lot
17 in the past for performance assessments we call the
18 composite-porosity or equivalent-continuum flow model, and
19 the basis of that model is that you have a very good
20 communication in the flow between fractures and matrix, or
21 strong coupling, if you will. And because of that strong
22 coupling, the effect is to slow down flow in fractures
23 basically, and because of that, it's very hard to see the
24 kind of fast movement that's observed. To get a tracer from

1 the surface to the ESF in 40 years in a composite-porosity
2 type model is difficult. I won't say it's impossible to
3 tinker with the model and input parameters to achieve that,
4 but it's not really a natural sort of thing to happen in that
5 sort of model.

6 The next step in complexity or sophistication in a
7 flow model is what's referred to as a dual-permeability
8 model, in which you have separate flows calculated for the
9 matrix and for the fractures, and you have a coupling term of
10 interaction between them. And that's the kind of model that
11 Andy Wolfsberg was talking about when he gave his results
12 this morning, and as he showed, with that kind of a model, at
13 least for some ranges of the parameters, it's possible to
14 match the kind of Chlorine-36 travel that we see.

15 The next step beyond that, or ways that you can get
16 even faster travel are to drop the steady state assumption.
17 If you allow large pulses of infiltration, it's possible to
18 move tracers somewhat faster. If you imagine the flow being
19 in rather discrete channels rather than in kind of long
20 sheets, then that reduces the interaction area between the
21 fractures and matrix, and that, once again, tends to increase
22 the travel speed, or the velocity.

23 And, lastly, it's possible for things like fracture
24 coatings to reduce the communication between the fractures

1 and the matrix and to enhance the flow down fractures. And
2 one thing I want to talk about later in the talk is what we
3 call the weeps model. That is an alternative conceptual
4 model that we've used in some of the past TSPAs to
5 investigate this type of behavior in which the flow is in
6 discrete fracture paths.

7 First of all, as I alluded to already, I think the
8 rapidity of transport of Chlorine-36 from the surface to the
9 ESF, and even farther down in some boreholes, not Chlorine-
10 36, but tritium, favors a weeps or a dual permeability type
11 model with a weak coupling between the matrix and fractures
12 because of, whatever reason, because of time scale effects or
13 because of coatings or something along this line.

14 Dryness in the ESF is something that I consider a
15 very favorable indication for repository performance. Either
16 there just isn't much water flow down there at all, or there
17 is water flow, but it's not going into the tunnels. In
18 either case, the water doesn't contact any waste that would
19 happen to be in the tunnel, which is a good thing.

20 We, as I said, have been looking at variations in
21 the kind of flow model to use for performance assessment, and
22 one thing that is coming out of this is the importance that
23 I've already mentioned of seepage into tunnels, and in
24 particular the number of waste containers that are under

1 seeps is being found to be very important to performance.

2 One important question, of course, is whether the
3 dryness is going to carry over to future climates.

4 I want to go on now to talk in a little more detail
5 on this second bullet with a couple of pictures. This shows
6 results of a calculation that we did a couple years ago to
7 get a feel for how our weeps model, as it was parameterized
8 for TSPA 1993, what it would predict for observations in the
9 ESF, which at that time hadn't been made yet. And I think
10 the results look more or less like what are reasonably
11 similar to what's observed.

12 Number one, it has almost 50 per cent probability
13 in this calculation of seeing no seeps at all into the
14 tunnel. And then there's some probability of higher numbers,
15 and I think it's important to emphasize that the
16 parameterization of the parameter ranges in this are, for the
17 most part, guess work. As of 1993 when we made these
18 parameter ranges, we didn't have much in the way of hard
19 information to define these, and yet I guess I feel like we
20 did a reasonably good job at guessing at it.

21 The thing to compare this with is it could be that
22 the observation that this should be compared with is no seeps
23 at all. That's what we see. Though, as I said, I don't know
24 how much that's affected by ventilation. But it's also

1 possible that this should be compared to the Chlorine-36
2 observations, because the weeps model is intended to be an
3 episodic model so that a weep that only flows once every six
4 years during El Nino periods would be counted in this, so it
5 could be that you should count the seven Chlorine-36
6 observations from the ESF main drift and compare that to
7 this. In any case, that's not that important.

8 The main thing that this is for is to kind of put
9 this next graph into perspective a little bit. In that
10 calculation, the average infiltration, or the average
11 percolation flux was half a millimeter per year. Now, this
12 shows this quantity that I have claimed is important, the
13 fraction of containers that are contacted by weeps as a
14 function of the percolation flux, as it has been models in
15 some past TSPAs. This is one of the sub-models that you need
16 for TSPA calculation, an estimate of how many containers are
17 contacted by flowing water, and of course how much water is
18 in the flow as well.

19 This line here shows the results for that weeps
20 model as it was parameterized in 1993, and a half a
21 millimeter per year is right about here. So I think that
22 kind of gives a feel that somewhere around a fraction of
23 containers of ten to the minus two to ten to the minus three
24 getting wet is reasonable, given the fact of a dry ESF.

1 That's kind of what I want to point out.

2 Then compared to these other models, which are
3 really the same model but implemented slightly differently in
4 two different studies, this is based on composite-porosity
5 type model, and for that model, you can see that if you want
6 to have a dry ESF, you're going to have to have a flow
7 probably less than a hundredth of a millimeter per year,
8 which is all right, but the catch is that a composite-
9 porosity model with a flux of a hundredth of a millimeter per
10 year probably has a travel time of a million years between
11 the surface and the ESF, which is not a good match with the
12 speed of transport of Chlorine-36.

13 And the point to this is more or less that with
14 additional observations, we're starting to be able to
15 constrain our models more with real data, and I think that we
16 could improve on the weeps model. We could make a dual
17 permeability model to replace the composite-porosity model
18 that would, by using the isotopic data and ESF observations,
19 would do a much better job.

20 Next, let me go on to talk about climate. The
21 effects of climate can kind of be parcelled into two pieces;
22 the timing and the amplitude. The first one I want to talk
23 about is timing. The first point is that for a short
24 performance period, like 10,000 years, the probability of a

1 change to wetter climate during that short period is
2 important to performance.

3 For past performance assessments, we have in all
4 cases assumed a fairly small probability of change to a wet
5 climate during the next 10,000 year period. Some of the
6 newer data discussed by Rick Forester this morning is
7 indicating that it may be fairly likely that there will be a
8 wetter climate within the next couple thousand years. That's
9 something that might make an important change.

10 Secondly, for a long performance period, like a
11 million years, we know that there's going to be many climate
12 cycles, so that the timing of the cycles isn't going to be
13 particularly important. What's more important in that case
14 is just the division of the fraction of the time that's in
15 wet climate conditions as opposed to dry climate conditions.
16 And Rick Forester in one of his view graphs this morning
17 said that was 70 percent.

18 Lastly, I wanted to point out in particular that a
19 change to wetter climate during the thermal period, by which
20 I mean, say the first couple thousand years, might be
21 especially important because the extra influx might change
22 your predictions of dryout time, relative humidity and,
23 therefore, container lifetime.

24 This is a list of different climate-induced effects

1 that can affect repository performance. Changes in the
2 unsaturated zone flux obviously are going to be important.
3 The redistribution of seeps to different locations, that is,
4 if the seeps don't always flow in one place but sometimes
5 change as the climate changes, that will affect performance.
6 The episodicity of flow, whether the weeps flow once a year
7 or once every six years or once every hundred years, that
8 affects performance.

9 Changes in the water table elevation affect
10 performance. Changes in the saturated zone flow can affect
11 it in two ways; changes in the amount of dilution and it can
12 create outflows of water from the repository at nearer
13 locations than occur now. And, lastly, changes in the
14 biosphere, for example, a wet climate condition might be more
15 conducive to people living around Yucca Mountain.

16 This is just an example. I want to make two points
17 with it. This shows three different dose curves; dose to an
18 individual as a function of time over a million year period,
19 and I don't want anybody to look at any of the numbers. It's
20 just, like I say, to make two points. One point is that
21 depending on the assumptions you make about your models and
22 about the climate effects, you can go all the way from having
23 very large climate changes, to having almost no change in the
24 doses over time. And the second point is just that the

1 typical picture that I think almost everyone has in his mind
2 that a dose rises, comes to a peak and then falls in time may
3 not be the correct picture, because we don't have a steady
4 state flow system.

5 In TSPA calculations so far, we have indeed found
6 the increase in unsaturated zone flux to be one of the
7 important parameters to performance. And in TSPA 1995, that
8 was pointed out explicitly. In that study, they didn't
9 examine the effects of changing the timing of the climate
10 change, so they didn't see the sensitivity to that. But in
11 1993, it was shown that for 10,000 year calculations, the
12 timing was important.

13 The weep stability, that is whether the weeps or
14 seeps stay in one place or change over time, has been found
15 to be important to performance, the idea being that you may
16 emplace a container in a dry place, but perhaps in the
17 future, it will turn into a wet place, because the flow
18 patterns change.

19 And then some of the effects that I listed haven't
20 really been evaluated yet. The changes in saturated zone
21 flow aren't expected to be a really big effect. I'm not
22 aware of any studies recently, but there's a ten year old
23 study by John Czarnecki of the USGS in which he estimated the
24 effects of a wetter climate on saturated zone flow, and he

1 found flow increases of a factor of two to four. So that's
2 important, but we get larger factors due to a lot of other
3 things, so it's not a big player. And biosphere, we haven't
4 done anything with, and that kind of depends on what the
5 regulations look like, I think.

6 A very short point; that for a composite-porosity
7 type model, the change in flux is what's most important.
8 It's almost the only thing that's important. But for a weeps
9 type model or a dual permeability model with enhanced
10 fracture flow, then the parameters that go into the locations
11 and numbers of those flowing fractures are important.

12 To conclude, in PA, we do not look at a single flow
13 model. We think it's very important for us to be looking at
14 alternative models of all of these different things,
15 constrained as much as possible by observations, and in some
16 cases, constraints are very weak, and so we may need to
17 include fairly disparate models. In other places where
18 they're tightly constrained, maybe we only need to use a
19 single model.

20 The new observations from the ESF and from recent
21 boreholes as well are giving us a lot more data to
22 constrained models than we had in the past.

23 The percolation flux and its spatial and temporal
24 variation are very important to performance. And I include

1 in that spatial variation the distribution between matrix and
2 fractures.

3 And the number of waste containers contacted by
4 flowing water, by seeps, I think is probably more important
5 than the fact that it is fast flow. We focus on the fact of
6 fast paths, but the fastness isn't so important as the
7 number, is what I see from preliminary modeling that we've
8 done.

9 And then, lastly, climate change is potentially
10 important. I think we have yet to model a lot of the newer
11 ideas that were presented by Rick Forester and others today.

12 DR. DOMENICO: Thanks, Mike. I have a question from
13 John Cantlon, Board.

14 DR. CANTLON: Michael, in your list of conclusions that
15 you put up, your last slide, you indicate that the number of
16 waste containers contacted is really very important. What is
17 your assumption about the role that the drift itself will
18 become a pathway, moving water wherever it gets in to change
19 the humidity for the whole drift?

20 MR. WILSON: We have not modeled that so far. I guess I
21 don't expect--at first it sounded like you were thinking of
22 water flowing down the drift, and I think the drainage at the
23 bottom of the drift will probably be fairly good, but you
24 could indeed, as you say, increase the humidity for a large

1 region around a seep, and that hasn't really been
2 investigated.

3 DR. CORDING: I was interested in your Page 8 on your
4 presentation on the estimated number of weeps in the main
5 tunnel. And before I get to some of the conclusion type
6 points on it, were those fractures assumed to be something
7 perpendicular to the tunnel that was flowing 100 per cent
8 over that fracture surface when they ran that calculation?

9 MR. WILSON: There are a multitude of assumptions in
10 this calculation. They are assumed to be rather discrete
11 pathways, so they're almost like point objects, and there is
12 a range of aperture sizes and a range of flow rates, and
13 there is just a geometrical probability calculation to
14 determine whether they contact containers or not.

15 DR. CORDING: But they could be channelized? I mean, in
16 other words, 100 percent of the surface of the fracture is
17 not necessarily flowing that's in contact with the tunnel?

18 MR. WILSON: No, that's right. It may be flowing down
19 two centimeters. In our assumptions, the mean width was half
20 a meter. That was just sort of a number representing a
21 typical cooling fracture, I guess.

22 DR. CORDING: Okay. So a number of weeps is over, say,
23 a half a meter length of fracture, something like that for
24 each weep of flow?

1 MR. WILSON: Each weep typically is, yeah, like a half a
2 meter wide by 200 microns thick.

3 DR. CORDING: Okay. One of the things that's of
4 interest is, and I don't recall exactly what the number is on
5 the amount of water to be taken out in ventilation, but it's
6 orders of magnitude greater than that sort of flux. And so
7 if you had a distributed flux, you wouldn't see anything at
8 all, but that doesn't mean that you wouldn't see something if
9 you had flow in concentrated areas. You would start to see
10 things, and the question is at what levels would you start to
11 see it and expect it. And even with this tremendous amount
12 of ventilation we have, it would seem that you could say that
13 we would--you know, at what level should we be seeing flows
14 in the tunnel? What sort of flows would that represent and
15 what types of flows will we not see because evaporation takes
16 it out? And it has to do with the distribution of that flow,
17 not just an average flux. If it's all in one joint in ten
18 feet of the tunnel, you're going to see the water.

19 MR. WILSON: That's right.

20 DR. CORDING: And so even now we could have some
21 information on that in a very gross sense as to what the
22 maximum flow is. And certainly as one starts to seal off
23 some drifts and look at some of those other features, you'd
24 be able to see in more detail what happens.

1 One of the concerns on the drifts in terms of
2 measuring these flows is that the drift itself is not so much
3 a conduit, but it's a barrier to flow, at least to advected
4 type flow, or may be, and so those are some of the things I
5 think would be very interesting to see. And it seems to me
6 one could at least make an initial calculation here very
7 quickly as to what sort of flows are not occurring, because
8 it would otherwise be overwhelming to the ventilation system.

9 MR. WILSON: I think we could take the current
10 observations and constrain that model quite a bit. I don't
11 have a plot and I don't know the distribution of the flow
12 rates in those predicted weeps, but I suspect that some of
13 them were probably big enough that they would be observable.
14 If you were to take that into account, you may push this
15 whole curve up some more.

16 DR. CORDING: Sure. Whether or not that's the
17 distribution you have or not is not so much the problem. You
18 know, this approach is interesting. You can go and do some
19 checking. It would seem to me it could be very useful.

20 MR. WILSON: Right.

21 DR. DOMENICO: A question from Jared Cohon, Board?

22 DR. COHON: On your overhead Number 2, you say that
23 performance assessment analysts have provided specific
24 feedback from priorities, et cetera. Could you give us some

1 examples of that?

2 MR. WILSON: Examples?

3 DR. COHON: Yes.

4 MR. WILSON: Well, one example is that in a memo two or
5 three years ago, we pushed fairly strongly for a lot more
6 calcite dating and isotope studies. And something I meant to
7 emphasize more strongly is that short of finding some actual
8 flowing water in Yucca Mountain, those isotope studies are
9 the only way we have of getting information on how flow is
10 distributed between matrix and fractures.

11 DR. COHON: I'm more interested in process here than I
12 am substance. How do you communicate this feedback, and is
13 it invited? Is it solicited?

14 MR. WILSON: A lot of times it's informal, just in
15 talking with people. There have been a few instances where
16 we have sent memos to the PIs or even to DOE people when
17 requested to giving our evaluation of priorities.

18 DR. COHON: All right.

19 MR. WILSON: And sometimes it's in the form of reviews
20 of reports and that kind of thing as well.

21 DR. COHON: Another related question. You made
22 reference to the working groups that will be formed for joint
23 performance assessment and site characterization working
24 groups, and you indicate they'll be formed at the beginning

1 of FY-97.

2 MR. WILSON: Yes.

3 DR. COHON: Is this going to leave enough time in order
4 to have the influence it should have on TSPA-VA?

5 MR. WILSON: I think so. I think it gives about a year
6 before the calculations need to be nearly finalized. It
7 doesn't allow time if there were a lot of computer model
8 development required, but I guess I am hoping that we'll get
9 by with a lesser amount of new computer codes being written.

10 DR. CORDING: Since this is a public meeting with a
11 record, let me go on record as saying I doubt it. It just
12 seems to me that given the complexity of TSPA and the many,
13 many components it has and the amount of scientific results
14 that have to be integrated into it, that not to start the
15 process of coordination between what I'll refer to as the PIs
16 and the modelers until about a year before you really need
17 the results is very risky. And I--well, I've spoken my
18 piece.

19 MR. WILSON: Well, let me qualify that I don't expect
20 that we will know everything there is to know at the end of
21 this process, but I think we will have something much better
22 than what we have now. That's what I think.

23 DR. LANGMUIR: Could I pick up on that?

24 DR. DOMENICO: Langmuir, question or comment?

1 DR. LANGMUIR: Well, it's a combination of them, but
2 it's picking up on what Jared was just saying.

3 About three years ago, we were all introduced to
4 the concept of TSPA as a pyramid within this program. The
5 pyramid had at the top the TSPA models which you've been
6 speaking of today. At the bottom was supposed to be folks
7 that now you're not going to talk to till '97. The pyramid
8 showed all the investigators and the detailed models at the
9 base of the pyramid, and we were led to believe that there
10 was communication going on starting back in the early
11 Nineties between the investigators within the TSPA program,
12 and the folks at the top with the larger models. It clearly
13 hasn't been going on systematically. It hasn't been going on
14 in a structured, as far as I can tell, manner.

15 MR. WILSON: There were discussions with the PIs, by the
16 way, not to name any individuals. But this is just the first
17 time that the site characterization organizations are going
18 to have a large amount of funding to work intimately with us.
19 It's just going to be a lot closer than in the past.

20 DR. LANGMUIR: This is not a criticism of you.

21 MR. WILSON: I think Abe wants to say something.

22 DR. DOMENICO: We'll take the last comment from Abe Van
23 Luik.

24 DR. LANGMUIR: Before he speaks up, Abe, let me add

1 something to what you're going to have to respond to.
2 Yesterday, we heard from the DOE that the waste isolation
3 strategy was created in concert with the TSPA folks, and that
4 there was an interplay across the way between TSPA and waste
5 isolation. Yes? No? I got a yes, but I was led to kind of
6 question whether there really had been coordination. Can you
7 respond to that as well as my concerns about the pyramid,
8 which is supposed to have been here for years now?

9 MR. VAN LUIK: This is Abe Van Luik from DOE. Yeah, I
10 stood up basically because I think some of the questioning of
11 Mike Wilson, who is an analyst in the PA program, has been a
12 little unfair because you're asking programmatic questions.

13 In the first place, if we talk about the waste
14 isolation strategy, if you read the front part, it is based
15 on TSPA-95 results and works forward from there. The PA
16 people, as well as the site people and the engineering
17 people, have all been intimately involved with this latest
18 version. That doesn't mean that every PI in each one of
19 these areas has been personally involved, but we have
20 basically gotten buy-in from a lot of people representing
21 each organization.

22 I think some of the other things that were
23 mentioned a minute ago, not starting interactions until
24 fiscal year '97, I think the right spin on that one is that

1 we have had interactions for quite some time and they've been
2 quite intense. For example, Bo has been laden with feedback
3 from us, formal feedback, on the first version of his model
4 and is responding to that feedback.

5 We have given LANL feedback on their transport
6 model. And something that Mike Wilson said a while ago, that
7 we, you know, need to develop a dual permeability capability
8 for transport, LANL has actually already provided that. So
9 we're working in concert with them and we're going to
10 basically formalize that process by what Mike Wilson was
11 talking about in the boundary, and Mike makes a good point
12 that in the past, this interplay between us and site was a
13 little bit ad hoc, and that now we are actually going to
14 factor into the schedule and into the funding the direct co-
15 working on this next TSPA.

16 Is one year enough? As Mike points out, if we find
17 that there are holes in the modeling, that one year is not
18 enough. But that's one reason why we're already planning
19 beyond the program plan that was just released. And instead
20 of doing additional sensitivity studies for the TSPA-LA, we
21 are planning a full-blown new performance assessment for the
22 TSPA-LA to give us that extra two years to improve on the
23 products that we have going into the TSPA-VA. So we're very
24 well aware of the issue, and I forget what other questions

1 came up.

2 DR. LANGMUIR: Well, I'm concerned that the Board isn't
3 going to really know. You guys will disappear into the lab
4 for three years. How do we find out where you've gotten and
5 where the key issues are going? Will we hear about this sort
6 of thing? Will you be in a position to tell us as you
7 progress what the important issues are?

8 MR. VAN LUIK: I think the answer is an unequivocal yes,
9 and I don't see how we are ever able to in the past or in the
10 present keep secrets from the Board.

11 DR. DOMENICO: With that note, I think we had best move
12 on. Thanks very much, Michael.

13 Well, it's time for a wrap-up. Sheryl Morris is
14 going to wrap things up.

15 MS. MORRIS: My name is Sheryl Morris. I'm one of the
16 members of the hydrology team, geochemistry and climate team.
17 Specifically, I'm the climate WBS manager.

18 What I'm going to try to do is, as alluded to, I'm
19 going to try to wrap up some of the presentations that you
20 heard both yesterday afternoon and today. To make things a
21 little simpler, this presentation probably looks familiar.
22 This is Russ Patterson's presentation. We thought it would
23 be a good foundation to go back and pick up the strategy,
24 pick up the speakers and give you the highlights.

1 So, again, we are only going to be addressing the
2 speakers that addressed the waste isolation attribute on
3 seepage.

4 Again, the overall objectives were to determine the
5 variability and the magnitude of the infiltration and
6 percolation flux, to look at those factors that might
7 influence the infiltration and percolation, to obtain the
8 adequate bounds on those factors, and determine some of the
9 likely impacts on saturated flow and transport.

10 Strategy was to use the geologic structure as a
11 framework, to look at how today's hydrology relates with the
12 geological structure, and how hydrology responds to the
13 climatic conditions of today, of yesterday, and what we might
14 look for in the future.

15 The first speakers were Warren Day and Steve
16 Beason. They gave you an overall presentation of their
17 results of the faults, both the superficial and at the ESF
18 level. And then Ed Kwicklis got up and gave a quick
19 presentation on how the hydrology responds to the geologic
20 structure. He talked about fracture flow that occurs within
21 and through the PTn. He gave us some of the magnitude flow
22 numbers for fracture and matrix, as well as the deep
23 percolation.

24 We've looked at the geologic structure, how

1 hydrology relates to that today. We can look at present day
2 conditions of infiltration and meteorology. Alan Flint did
3 that, and of course he emphasized many times that
4 infiltration is temporally and spatially variable, and he
5 talked about how you could take some atmospheric parameters
6 and turn that into infiltration that would feed the other
7 hydrology models.

8 We've looked at the present day conditions. We
9 went into the past conditions. First, Rick Forester gave us
10 some highlights of where the paleoclimatic studies are,
11 laying the foundation with the cycles, the 400 and the
12 100,000 year cycles, laying the paleoclimate records as an
13 overlay on that, covering some of the last glacial parameters
14 and talked about the annual precipitation and the temperature
15 being colder and wetter.

16 So how did the past hydrology react to the past
17 climate? We looked at it from two approaches; that being
18 Zell Peterman's and one of June Fabryka-Martin. Zell came
19 back that evidence slow percolation, slow deposition and low
20 volume water.

21 June and Andy came back and next talked about some
22 of the results from the Chlorine-36 studies that they're
23 doing, and that it indicates a fast pathway that as itself
24 does not indicate the magnitude, looking at a pretty good

1 foundation as a path. The present and the past are going to
2 lay the foundation for the future.

3 As Starley pointed out, looking at the future
4 climate modeling, the test case of the past and the present
5 has been run through the model. He's finishing up the CO2
6 case and will be going into the next phase later on, but this
7 numerical output will be given to Alan for his use to send
8 down to the hydrology models, and a copy of it is being given
9 to TSPA for their use.

10 Overall from a climate perspective, we've looked at
11 today's climate and how it affects hydrology. We've looked
12 at the past climate and how it affects hydrology. We're
13 looking at some of the cases that we have not seen in the
14 past and we're using future modeling to try to incorporate
15 what could occur that would affect repository performance.

16 As a group, these individuals will get together and
17 package what will be given to TSPA later on next year, and
18 TSPA then will go ahead and follow through with the impacts
19 that future climate could have on future hydrology.

20 And that's it; a real quick rundown.

21 DR. DOMENICO: Thank you very much. There's probably no
22 need for questions because that was a wrap-up, unless of
23 course there is some comments or questions.

24 (No response.)

1 I was right. Thank you very much.

2 I have an announcement to make. Before we go on
3 break, we're of course getting set up for the round table,
4 which will be led by Garry Brewer. We have selected some of
5 the presenters and some people who have not presented
6 material for that panel group. Those of you that were not
7 selected, that doesn't mean we didn't want you; we just
8 didn't have room. But don't leave, because we anticipate
9 there's going to be some interchange between the people
10 sitting around in the panel and the remaining people here in
11 the audience, if I can call it an audience. So don't run for
12 the airplane yet.

13 They'll need 15 minutes to put that together, I
14 believe, so let's take a 15 minute break.

15 (Whereupon, a short recess was taken.)

16 DR. BREWER: Will everyone please reconvene, including
17 our panel. My name is Garry Brewer, and I have been the
18 silent member of the Nuclear Waste Technical Review Board.
19 I'm neither a hydrologist nor climatologist, and one can
20 wonder why I am chairing this panel, and it's either because
21 there is plausible denial, doesn't go well, but more to the
22 point, it's because I got the short straw. So it's my job
23 this afternoon to keep this thing on track.

24 We have for the past day and a half heard a lot

1 about climate and hydrology, trying to figure out the past
2 and the present and the future. From a performance
3 perspective, we're particularly interested in the present
4 hydrologic regime at Yucca Mountain and how it might change
5 as the climate changes. It's really been the main reason for
6 having this particular theme for the meeting.

7 We've heard a lot. A lot of the work was nicely
8 summarized right at the end by Sheryl Morris, and we need not
9 go back through that. She's done the job.

10 The round table really has a couple of fundamental
11 questions, and as a non-hydrologist/climatologist, I kept
12 asking myself versions of these questions for the last day
13 and a half, and I'll take the prerogative of the chair to ask
14 them again in very specific terms as we go along. Is the DOE
15 program going to be successful and what do we mean by
16 success? Success in the sense of reaching an understanding
17 of climate and hydrologic regimes in the past and more
18 particularly in the future, and how these might affect the
19 repository. I think that is basically the question; what's
20 going to happen on this one place in Nevada that we're all so
21 concerned about.

22 More to the point, and Jerry Cohon at the end got
23 to it in terms of process, are we heading collectively, and
24 more particularly the PIs and DOE, heading in the right

1 direction? To begin to ask and answer that question, are we
2 going to have success in terms of the program, this
3 particular goal? Are we collecting the right data? Do the
4 models make sense. Is the interaction good, the processes
5 good, communication good? Those are all things that a Board
6 like ours has to be concerned about. That's one of the main
7 reasons we invited you all here for the last couple of days.

8 In addition to the speakers who were formally on
9 the program and people who made presentations, we knew in
10 advance that there were three or four others that we wanted
11 to involve in the round table, and as the two days
12 progressed, there were a couple of other individuals we
13 thought could make meaningful contributions to the round
14 table. I'll talk a bit more about that in a moment, the
15 round table and how we proceed.

16 Neil Coleman, a hydrologist in the Division of
17 Waste Management with the NRC, is one of these individuals
18 we've invited. Abe Van Luik, who stood up and was beginning
19 to get into the panel before we were ready for the panel, so
20 he's primed, who is in charge of performance assessment at
21 Yucca Mountain. Parvis Montazer, a consulting hydrologist in
22 Nye County, Parvis is at the end of the table, who formally
23 was with the USGS and is to a large extent, or to a
24 significant extent, responsible for some of the unsaturated

1 zone modeling at Yucca Mountain.

2 Two other individuals who we have invited to join
3 the round table are Marty Mifflin of Mifflin MAI, Mifflin
4 Associates, and Roger Morrison here of Roger Morrison and
5 Associates.

6 Now, in terms of how the round table works, I'd
7 like to start off by giving those who did not make
8 presentations a moment or two to kind of speak their piece,
9 and then we get into basically a free-for-all, and my job is
10 going to be good cop, disinterested party kind of referee.
11 And we will take conversation from people around the table
12 first, following up on anything that comes to mind, and then
13 as that either dies down or dissolves into something out of
14 control, we will then go to the audience.

15 We have, as always, left time at the end for anyone
16 from the public who wants to ask questions. Our basic
17 objective is to be finished with the round table about 4:40
18 or 4:45.

19 Now, a word to my colleagues on the Board. We will
20 wrap up. The luggage is next door in the safe. We will meet
21 for a quick businesslike meeting in Room 240, and then we
22 will proceed directly to our retreat. There's no need to
23 move the luggage, is the basic point.

24 Now, having gotten that monumental piece of

1 business out of the way, let me invite Neil Coleman to
2 comment on whatever comes to mind. Neil?

3 MR. COLEMAN: You said a moment. Is that the three
4 minutes I heard about?

5 DR. BREWER: Three minutes is a moment.

6 MR. COLEMAN: We should start this out with a bang then.

7 As everyone knows, it's a tough job trying to
8 understand the hydrology of Yucca Mountain, even under
9 present day conditions, and the need to consider future
10 climates adds another dimension to the problem. As of now,
11 we don't know what the period of performance will be for a
12 repository. Hopefully, the new EPA standard will be out
13 soon. If it turns out that the performance period will be
14 hundreds of thousands of years, or perhaps even a million
15 years, climate would be even more important.

16 At NRC, we see a key question here. What's a
17 defensible range of future climates at Yucca Mountain?
18 Climate change is the most important factor in estimating
19 long-term shallow infiltration and deep percolation at the
20 site.

21 Site characterization gives us information about
22 the present day conditions, and that's an essential starting
23 point. But the climate will certainly change over thousands
24 of years, and precipitation will increase. In the Great

1 Basin, past climates have been significantly wetter than now,
2 and such conditions have to be considered to provide
3 reasonable assurance that climate change is an integral part
4 of performance assessment.

5 Now, DOE has proposed an extensive program of
6 global and regional climate modeling. From what I've heard,
7 it's a little less extensive than it used to be, but it's
8 still an important effort.

9 But attempts to use global climate models to
10 predict climate changes over tens of thousands of years will
11 almost certainly remain very controversial, leading to debate
12 over the competence of one model and data set versus another.
13 Efforts to validate global climate models will likely result
14 in continual attempts at validation and model calibration.

15 In addition, only highly unreliable speculation is
16 available to predict the manner and degree to which future
17 human activities will affect climate.

18 Now, I personally advocate an approach to bound the
19 hydrologic consequences of climate change in which one would
20 develop a reference climate scenario that is consistent with
21 known climatic patterns during the Quaternary. As I see it,
22 that would include conditions that would be challenging to
23 repository performance. Using what is known about
24 paleoclimatic trends, reasonable and realistic assumptions

1 about future climate change could be made to support
2 performance assessments.

3 Projecting the Quaternary cycles into the future
4 has several advantages. We don't need to know the exact
5 causes of glacial cycles. We don't have to praise or
6 persecute Milankovich. The cycles would speak for
7 themselves.

8 Also, as I mentioned, we can avoid the highly
9 unreliable speculation about future human activity. There
10 are, after all, limits on the availability of the fossil
11 fuels that are being consumed, producing greenhouse gases.
12 And even after a century of industrial revolution, average
13 surface temperatures, air temperatures on the earth are
14 estimated to only be about half a degree centigrade higher
15 than a century ago.

16 Now, this approach to climate change was presented
17 in our paper at the recent High Level Waste Conference. Our
18 paper was intended to encourage discussion on this topic at
19 about a reference climate scenario, but as I found that
20 participation in this year's conference was much less than in
21 prior years, there wasn't a whole lot of discussion to be
22 had.

23 Efforts in global climate modeling do not appear to
24 provide a lot of added value to the program through

1 predictions of the likelihood of various climate scenarios.
2 Realistically, there seems to be greater value in the
3 interpretation of paleoclimatic data specifically from the
4 Great Basin region, and these data include information from
5 paleo-discharge sites, pollen studies, paleo-lake levels, the
6 Devil's Hole work, and other sources.

7 The key work in these areas have been done by
8 Jeffrey Spalding, Ike Winograd, Jake Wade, Marty Mifflin and
9 a host of other folks.

10 I personally believe that there is a clear path to
11 a scientific consensus on this issue. I don't mean a
12 consensus on what the ranges of precipitation will be in the
13 future, but on the variability and periodisity of what we
14 might expect in future climate.

15 That concludes my statement.

16 DR. BREWER: Okay, thank you, Neil.

17 The next individual will be Abe Van Luik. Abe?

18 MR. VAN LUIK: I think I may not even take the three
19 minutes I'm allowed, which makes me a hero.

20 I would like to remind people that we have one
21 repository program, but we have divided it into several
22 divisions to make it workable and manageable. As part of
23 that manageability division, performance assessment was
24 created to look at total system performance and the

1 implications of work being done by others on total system.

2 I think what you have seen in the last two days is
3 ample evidence that the scientific program is on the case and
4 is looking seriously into the process level understanding of
5 the mountain in terms of flow and transport in its evaluation
6 of new revelations from the site.

7 I think it's important to recognize that
8 alternative conceptual models that were talked about by PA
9 and by several other people are to be considered and
10 evaluated as part of the process level model development for
11 flow and transport, and they are to be evaluated as part of
12 the site program. However, the PA program is intimately
13 involved in that exercise because the evaluation of these
14 things in terms of what they mean in terms of total system
15 performance is our responsibility.

16 So we are working arm in arm, sometimes head to
17 head with the sites, the engineers and the joint groups that
18 are looking, for example, at the near field environment, and
19 we will be, as was pointed out by Mike Wilson, starting in
20 early fiscal year 1997, starting a very intense program of
21 cooperative work to make sure that whatever we put into the
22 TSPA-VA will have the understanding and the blessing of the
23 site program and the engineering program.

24 And I think the likelihood of success goes up as we

1 get the whole program behind, the results that we put forth
2 to bodies such as this and to the public, and I think that's
3 all I'd like to say.

4 DR. BREWER: Thanks, Abe. Parvis Montazer?

5 MR. MONTAZER: Over the five years that I was involved
6 in the program, from 1982 to 1987, I basically did nothing
7 but to develop a site characterization program. And a lot of
8 my effort went into the exploratory shaft test plan
9 development which is now the exploratory study facility
10 program.

11 I came back to the project about two years ago. In
12 1987, I thought that we had a good solid site
13 characterization program presented to NRC, and it was
14 conceptually solid. There were a lot of things that we
15 didn't know how to do and we were hoping to learn the
16 process. When I came back a couple years ago, I found that a
17 lot of basically the bricks, the foundation on which we based
18 that program are basically taken apart. And in the past two
19 days presentation, I'm getting a feeling that there are a lot
20 of holes left open that are really making this program in a
21 critical state as far as coming with a conclusion in a quick
22 manner.

23 I would like to see if we can focus on a way of
24 going back and filling those holes and gaps as soon as we can

1 while we have the opportunity in the process.

2 The main thing that I'd like to point out is the
3 exploratory study facility, as we planned it, is going to
4 create a major boundary condition, induced boundary condition
5 in the mountain. Unfortunately when I came, I saw that there
6 was very minimal effort to characterize that boundary
7 condition, and still really there is not a good effort for
8 the characterization of that boundary condition.

9 Also, I have noticed that there's been a lot of
10 variation and deviation from what was planned, which is
11 basically blamed on the construction problems and health and
12 safety problems, one of which is the water issue, water use
13 in the tunnel that was supposed to be at a minimum possible
14 amount. And what I'm finding out is that there's really not
15 100 percent care used in that process.

16 I think we have very little left in the completion
17 of the ESF tunnel, and I would like to encourage the
18 scientists involved in the program to rethink seriously to
19 see if they can get all they can in that process in that
20 short of a period of time between now and December or April,
21 whatever the completion of the ESF is concerned.

22 That's about it, and I can go to specifics if there
23 are questions.

24 DR. BREWER: I think it's appropriate that we come back

1 to it, because one of our major questions is changes in the
2 program that ought to be considered, and your comment about
3 holes in the program is certainly a leading question. We
4 should probably come back to it.

5 Marty Mifflin next, if you would, sir.

6 MR. MIFFLIN: I started out on this project I think it
7 was 1980. NRC made a tour around Nevada and other places on
8 possible proposed sites, and in 1981, I recall--I was
9 reminded actually yesterday by Phil Justice of NRC that
10 things had come down to what was discussed in a smoke filled
11 room I think it was in 1981, trying to brainstorm what the
12 issues would be of the Yucca Mountain site. One was climate
13 change, and the position of the site in the vadose zone in a
14 region that was known to have had major changes in both
15 climate and effective moisture, and that particular issue has
16 been worked on subsequently by a number of different folks,
17 both within the Yucca Mountain program and outside because
18 it's a very challenging issue.

19 To me, it's a potential site, if not killer site
20 modifier, because the quantitative evidence for effective
21 moisture, what I call effective moisture or effective
22 precipitation that comes from the Great Basin pluvial lakes
23 at their maximum stage is about one order of magnitude
24 greater than the current hydrologic budgets in the basins,

1 and the extremes are during the pluvial periods, would appear
2 to be about .5 orders of magnitude greater, to 1.5.

3 So if Alan Flint's numbers of, say, five or ten
4 millimeters of net infiltration are turned into 50 or 100
5 millimeters of net infiltration during the pluvial, and then
6 we hear today, and others have already said it, that the last
7 2.5 million years, the climate has shifted back and forth on
8 some type of semi-cyclic basis, but looking at the various
9 records that Ike presented, you could say 60 to 70 or even 80
10 percent is some type of a cooler or wetter global climate
11 over that time period.

12 So, really, based on the inventory life of the high
13 level waste, which for plutonium is ten to the five years,
14 and for the uranium it's forever, for all practical purposes,
15 60 at the minimum, and say 80 percent at the maximum, or
16 something in those rough ranges, the site will be in some
17 type of a so-called pluvial or glacial climate. So it's a
18 very, very important issue from the perspective of the
19 performance of the site, not so much in licensing criteria,
20 but from the practical perspective of how long will the
21 engineered barriers persist and what happens to the waste
22 after the engineered barriers are gone.

23 I think I'll stop there.

24 DR. BREWER: Thanks, Marty. Thank you very much.

1 Final opening comments from Roger Morrison.

2 MR. MORRISON: Hello. Ten years ago, I started work on
3 Lake Tecopa, which for several million years was the sump,
4 the terminus for the Amargosa River which heads at Yucca
5 Mountain. And Lake Tecopa has a superb stratigraphic,
6 climatic, hydrologic record, and it's been a fascinating
7 place to study. The record is exposed in deep badlands in
8 three dimensions, much better record than you can get from
9 any boreholes, which are highly site specific.

10 But Lake Tecopa had a several million year history
11 with long periods of playa conditions, long periods, one was
12 almost a million years long, in which chiefly playa
13 conditions prevailed in the basin. But that ended about a
14 million years ago, and since then, there's been a trend of
15 rising lake cycles. Each lake maximum tended to be higher
16 than the preceding one, with some long periods of
17 desiccation, dry playa conditions, shallow lake playa
18 conditions.

19 The trend is an upward trend, as I perceive it, and
20 this is parallel with the record of other pluvial lakes in
21 the Great Basin, of which there are more than a hundred.
22 Lake Lanontan and Bonneville are well known. Their last two
23 seen lake cycles, the last two high lake cycles were as high,
24 and in some cases higher than any of the middle lake cycles.

1 I do not see from this record that there was a trend toward
2 increasing aridity. Rather, the opposite.

3 Furthermore, I'm glad to see more emphasis upon
4 recognition of climatic cycles, of which there were about 44
5 during the two and a half million year term of the whole
6 Quaternary period, and these were inter-glacial type cycles.
7 The usual trend in climate was to have many more
8 fluctuations. These have been now recognized, say, in the
9 last inter-glacial, and especially during the transition from
10 the last inter-glacial into the last glacial. Lots of warm
11 times, then within decades, probably within a person's
12 lifetime, sudden cooling to glacial conditions. This is what
13 not only the Greenland ice cores show, but also pollen
14 records in Europe, and it shows to some extent in the last
15 records in Europe and China.

16 But we see many more high frequency and high
17 amplitude changes during these larger cycles, and we're just
18 beginning to get the chronologic and stratigraphic resolution
19 to detect it. But what is likely is that there will be a
20 growth of ice sheets in Europe and North America within the
21 next several thousand years. This is a prediction of Alan
22 Berger, a Belgian astronomer who is one of the leading
23 specialists in Milankovich studies.

24 The Milankovich mechanism seems to be a pacemaker

1 for Quaternary climatic cycles, and being astronomical, it
2 can be predicted, these first insolation changes can be
3 forecast, provide a forecast hundreds of thousands of years
4 into the future.

5 We understand that there are various feedback
6 mechanisms and so forth, but I won't go into that. But the
7 opinion of Berger, I heard him talk in Berlin at the INQUA
8 Congress last summer. He predicted substantial growth of ice
9 sheets in Europe and North America in 3,000 years. He's
10 published I think between three and 5,000 years, which is
11 rather alarming.

12 I would like to point out in the--for instance, one
13 of the talks had some interesting data that might be
14 followed, the talk by Peterman on paleohydrology age control
15 from U series and C-14 dating of calcite and opal in the
16 veins in the Yucca Mountain area. Many of those dates are
17 rather old, and they go back to about 50,000 years. Being
18 radiocarbon dates, those probably are only minimum dates and
19 not reliable. But that touches upon, as some of the
20 paleoclimatic studies in Europe and some in other parts of
21 the world have suggested that during the growth of
22 anaglacial, the waxing glacial, the ocean's surface water,
23 the surface water in the oceans of the world is relatively
24 warm, particularly of course in the tropics and the middle

1 latitudes, but this, with the cooling, this is a time where
2 the pluvials of the Quaternary apparently occurred. It is a
3 mistaken concept that the full glacials were both cold and
4 wet.

5 I've heard this mentioned several times at this
6 meeting. The last glacial apparently ended cold and dry.
7 This is what the pollen records in Europe and North America
8 seem to show. And I think some of these vein dates on
9 calcite and opal, these old dates actually probably are
10 indicative that there were important pluvials during the
11 build-up of the last glacial period in the Yucca Mountain
12 area. That ought to be looked into. That's probably enough
13 to say.

14 DR. BREWER: Okay. Well, thank you very much, Mr.
15 Morrison. I'm going to take the chairman's prerogative,
16 mainly because it's a question that I have in my own mind
17 based on what I've heard the last couple of days, and Neil
18 Coleman mentioned it as well. The trade-off or the conflict
19 or the difficulties in resolving the modeling approach versus
20 the paleoclimate data approach, and I would really like to
21 hear, by way of summary, I'm going to ask Ike Winograd to
22 comment on your views, and also Tom Wigley, because from my
23 point of view as a non-specialist, I mean you really
24 represent two very different ways of getting at the

1 uncertainties of what's likely to happen at that mountain.

2 NRC's representative, Mr. Coleman, is saying, in
3 effect, that the models don't add that much value. He'd
4 rather see some more data. I think I represented your point
5 reasonably well. If not, say so. So could you, for me, and
6 I would hope maybe even three other people in the audience,
7 try to resolve a bit the conflict.

8 Is it either/or, is it and, or where does it all
9 stand? Should we be putting more energy and money into
10 modeling of the climate? Should we be working harder? And I
11 take--it's not even by inference, I just listened to Roger
12 and, you know, he doesn't talk about models, he was talking
13 about data, and your views on this. I'm confused. But I'm
14 easily confused, Ike. Ike, and then Tom, if you would.
15 That's by way of just getting the discussion started.

16 MR. WINOGRAD: If one believes that there is a role for
17 geologic disposal, i.e. underground, I'm going to start a
18 little off the subject, but I'll get back to it within a
19 minute, if this is still a consideration that the nation
20 wants to follow, then no matter what site one chooses, these
21 type of debates will appear and reappear and reappear, for
22 the unsaturated zone in the sand dune, for saturated zones in
23 rocks, which are always fractured, and there will never been
24 a resolution. There will never be a resolution because you

1 will always have these differences of opinion, valid
2 differences of opinion between scientists and engineers about
3 which model to use and so forth.

4 So one can abandon geologic disposal altogether and
5 say that we will never converge on any site because of all
6 these questions that are being raised, and we can go to a
7 surface storage system above ground, and Gene Roseboom has
8 written a wonderful essay on this subject, and some of the
9 sociologists, not those here necessarily, are saying store it
10 above ground because the uncertainties are much less than
11 below ground, but they never put error bars on their
12 statements. So that's just one opening statement.

13 If we stick with the attempt for geologic disposal,
14 then I think it would be arrogant to choose one or the other,
15 between the paleoclimate, which is dear to my heart, although
16 I'm not funded by this project, or climate modeling. I don't
17 think we know enough in either of these areas. There are not
18 many well dated proxy records out there; very, very few, and
19 most of them are less than 30,000 years old. So I don't have
20 that much confidence in the proxy records, which was one of
21 the messages I tried to relay this morning.

22 I want all the help, if I was in this program, all
23 the help I could get from the other disciplines, all other
24 disciplines. So that would be my first answer, and I'll stop

1 at this point, both are needed in our present state of
2 ignorance if we're going with geologic disposal. But you can
3 chuck geologic disposal if you wish to.

4 DR. BREWER: All right, thank you very much. That was
5 right on target. Tom Wigley?

6 MR. WIGLEY: Let me begin by saying I agree with the
7 initial premise of Coleman, and that is that what we need is
8 a defensible range of climates. And I agree totally with
9 what Ike said about needing to define that defensible range
10 using all of the available tools, and that means a synthesis
11 of information from the paleo-record and a judicious use of
12 models.

13 One of the reasons why models must have a role to
14 play is because I think there is a very high probability that
15 the future, or at least the future will be very different
16 from the past. In other words, the assumption that the past
17 is the key to the future in this particular case I think is a
18 very poor assumption and a dangerous assumption to make. And
19 there are a number of reasons for that.

20 One reason is that if one makes statistically based
21 projections using Milankovich as the fundamental driving
22 mechanism, projections of future global mean temperature,
23 then the future over the next 100,000 years looks nothing
24 like the future of the last 100,000 years. It's just not

1 possible to just pull out, say, the last 400,000 years and
2 then tack that onto the present and use that as an idea of
3 what might happen in the future. You've got to do something
4 a little bit more sophisticated than that.

5 One of the disadvantages with using that type of
6 approach, which I think Coleman was partly advocating, is
7 that that only gives you an idea of the global change. It
8 doesn't tell you anything about what's happening at Yucca
9 Mountain, and I don't think there is enough information from
10 Yucca Mountain to be able to extrapolate in a defensible
11 statistical way what's going to happen to that particular
12 site, particularly for changes in effective moisture, which
13 is a very complicated function of temperature changes and
14 precipitation changes.

15 And another real problem with using local
16 paleoclimatic data is that Ike Winograd has shown in
17 reviewing various types of evidence that there's high spatial
18 variability in changes in effective moisture availability,
19 and there is no particular record for Yucca Mountain, and if
20 you've got a lot of records that show great spatial
21 variability, how in the hell do you get Yucca Mountain out of
22 that.

23 I think that one has to use both types of evidence,
24 because both types of evidence, modeling and paleoclimatic

1 evidence, is rife with uncertainties, and we've just got to
2 make the best use of these imperfect tools that we possibly
3 can.

4 DR. BREWER: Anyone care to follow on this particular
5 comment, or this line of discussion?

6 The uncertainties are huge. I take the advice, I
7 mean, you get whatever help you can get to reduce the
8 uncertainties and that's where we are. But how much is
9 enough? And I want it exactly. Marty Mifflin?

10 MR. MIFFLIN: Tom, I agree that the climate modeling has
11 important purposes, but I don't think that the purpose that
12 you mentioned to try to get at site specific climatic
13 parameters is a valid one. I think it's very useful for the
14 modeling for other purposes. The reason I say I don't agree
15 with you is that within the region, agreed in the Basin, but
16 right within the region, there is not a proxy record of
17 effective moisture. There is a good record that is a direct
18 record of effective moisture by virtue of the ground water
19 discharge deposits, the evidence where the water table was,
20 and just in the basins immediately to the north, the closed
21 hydrographic basins, the size of the pluvial lakes, and that
22 is a direct measure of effective moisture with all of the
23 climatic parameters lumped in to yield whatever moisture
24 escaped, evaporation after rainfall and runoff.

1 These direct measures, very, very less proxy than
2 all of the climatic parameters, are there in the region. And
3 so from that particular perspective, I'd say that you can
4 create through the modeling effort a whole series of
5 combinations of, say, temperature, precipitation, wind
6 perhaps, evaporation, but you have something to calibrate
7 those climatic models with right locally at the same scale as
8 your grid scale. I mean, you're starting with something
9 that's already there well dated and measured, and that's my
10 comment.

11 DR. BREWER: Alan Flint was next, and then Abe Van Luik.

12 MR. FLINT: There are I guess several ways that I think
13 about using both of these approaches, and Marty's comments
14 about water table rise is a regional concern because the
15 water most likely did not come from Yucca Mountain that
16 caused the water table to rise, but from some area of higher
17 elevations.

18 What we've tried to do in our analysis, I presented
19 several ways in which we modeled infiltration. One was a
20 static way, which is dependent on current climate. The other
21 way is a more dynamic approach which uses the correct physics
22 we think, and the physics include, I didn't go into detail,
23 but it includes solar radiation, ozone, precipitable water in
24 the atmosphere, turbidity, all of those different kind of

1 components, slope aspects, blocking ridges, whether we have
2 snow on the north slope, all of that.

3 But to make the transition from a climate scenario
4 into a flux, specifically at Yucca Mountain, you need another
5 model for any kind of scenario that we apply. And we have to
6 look at how we're going to make that transition. I've
7 proposed one way, and that's to use an infiltration model
8 that uses daily rainfall values, because as we've pretty much
9 determined, infiltration is dependent upon conditions within
10 weeks, not within hundreds of years. And what Starley can
11 do, which is of tremendous value to us, is he can look at
12 something like an increase in CO₂, which is not something
13 we've necessarily seen in the past, or if we have, we don't
14 recognize it as that, and he can covert that information to
15 daily values of precipitation, air temperature, cloudiness,
16 to be consistent with what his best estimates are.

17 The other thing that he can do, which is what makes
18 the global climate model very important in looking at
19 paleoclimate records, unless there's another way and somebody
20 could suggest that, of converting that paleoclimate record
21 using a model to match, which he's done, and from that match,
22 he can then provide us the kind of input in terms of the
23 rainfall patterns, not just that it's wetter or colder, but
24 whether it's wetter or colder together or at different times,

1 how that's distributed, whether we have wetter conditions
2 because we have a higher frequency of storms, or whether we
3 have wetter conditions because we have a higher intensity of
4 rainfall or just longer duration. Those are very critical
5 items, and the ability to convert a climate scenario from the
6 past paleo-records into values that we can then put into a
7 conversion model to get the flux at Yucca Mountain is very
8 important.

9 We need two sets of conditions. We need a regional
10 set of conditions so that we can deal with saturated zone
11 flow systems like the rise in water table that Marty is
12 talking about, and where that water might end up going, and
13 then a localized at Yucca Mountain approach. So I think we
14 do need this way to convert climate scenarios into values
15 that we can then do another modeling approach, convert to
16 specifics at Yucca Mountain specific for the site, for a
17 very, very small footprint on the surface of the Southwestern
18 United States.

19 DR. BREWER: Abe was next, but I'm going to go to
20 Starley. Would you like to respond to this, just amplify,
21 pick up on it, say it's a great idea because that's what you
22 should say?

23 MR. THOMPSON: Well, I hope Alan is not giving us too
24 much credit, but in principle what he says is true. If in

1 fact we're able to show that we can reproduce the
2 paleoclimate, analog state, with sufficient veracity, then in
3 principle, you could then take the output of the model, which
4 is much more detailed at least temporally than any
5 paleoclimatic reconstruction is, and then use it to run the
6 infiltration models that Alan has. It's actually an
7 interesting use that I hadn't thought of until Alan just
8 brought it up, but in principle, it should be possible.

9 DR. BREWER: The thing that's really interesting, and I
10 know Jerry Cohon, because of his question and some
11 conversation we've had, is where do all these parts and
12 pieces kind of come together to answer the question is Yucca
13 Mountain a good place? Abe?

14 MR. VAN LUIK: The Tecopa Basin badlands, I think that's
15 a beautiful place. I visited there many a time to visit the
16 hot springs and other things, and I'd recommend it to anyone.
17 If you come to Las Vegas, take the time to drive the 80
18 miles to Tecopa Basin.

19 In TSPA, we have played around with climate change
20 by multiplying flux by two times, by five times, by .5 times,
21 and we find that these things are significant to performance,
22 but whether or not they are meaningful to performance from
23 the perspective of showing compliance with the regulation of
24 course is up in the air at this point.

1 Where we feel even more vulnerable than what the
2 multiplier is in the pluvial versus a non-pluvial cycle is
3 exactly what Alan was talking about. How was this flux
4 distributed in the mountain, and this is where we look to the
5 flow modelers to tell us what the distribution is between the
6 matrix and the fractures. The work that Michael Wilson has
7 showed us in the weeps shows that actually it's a good thing
8 to have it confined to fracture flow and have it pass out of
9 the system quite rapidly without seeing must waste.

10 So, to me, the weightier issue, and I hope one that
11 we get to before this round table is over, is not only the
12 input from the climate, but also the modeling of the flux
13 from the surface to the deep surface. And I think the reason
14 that I mention Tecopa Basin is if you have an extreme climate
15 change, you will have much more runoff. I don't know what
16 that means in terms of the internal water in Yucca Mountain,
17 but you will have a very different biosphere than what we're
18 dealing with now.

19 DR. BREWER: Jerry had a comment. If you'd grab a
20 microphone somewhere?

21 DR. COHON: I read something else into what Mr. Coleman
22 said, and a lot of people are putting a lot of words in your
23 mouth, Mr. Coleman. You might want to speak up. But what
24 his statement did for me was create the following scenario,

1 which I can easily imagine in 1998 or 2001 or 2003. Abe,
2 you're sitting in a Congressional hearing or in a licensing
3 hearing, and someone says to you you mean to tell me that the
4 flux will not be 100 millimeters per year? I have 18
5 climatologists willing to testify right now that at some
6 point during the useful lifetime of this repository, it's
7 going to be that or more.

8 Now, this is not to say we should ignore
9 climatology and studying the situation both in terms of data
10 and modeling. But what seems certain is that you, me, no one
11 can really defend a position that says we will not have such
12 a flow, a flow that will create conditions in the repository
13 that could create real problems.

14 DR. BREWER: Does anyone care to respond to that?

15 MR. MONTAZER: It's not in response to that. I just
16 wanted to comment on something that was earlier discussed as
17 far as the modeling as opposed to the paleohydrologic, how we
18 tie these things together, whether to choose one or the
19 other. Do you want to pass that on?

20 DR. BREWER: Let's hold that. Abe wanted to respond I
21 think directly to Jerry Cohon's questions. We'll come back
22 to that.

23 MR. VAN LUIK: But I think we're talking about the same
24 response, but I'm probably wrong. I was going to say that in

1 such a hearing, we would go directly to a person like Alan
2 and say with this increased precipitation, what is the break-
3 out? How much flows down the mountain? It has in the past
4 had some surface flow. How much infiltrates with the new
5 climate scenario? How much is evaporated out of the first 60
6 meters, or six meters, or whatever? And then we would turn
7 to the hydrologists in the site program and say what is
8 physically possible to shove down that mountain, and that's
9 another constraint on the problem.

10 So just going by climate alone is not the correct
11 answer, and I thought that's what you were going to say.

12 DR. COHON: This is go germane here. But the question
13 then is how much money should we invest now in predicting
14 future climate? That's really the question. But in terms of
15 using program resources to refine what will unavoidably be
16 extremely uncertain and very difficult to defend, do we want
17 to use the money that way?

18 DR. BREWER: Let's see, we've got a queue. Rick wanted
19 to say something, Marty and Parvis. So, Rick?

20 MR. FORESTER: I just wanted to quickly say that I think
21 models have a great value in terms of exploring all of the
22 ramifications of data, but with all of the weaknesses that go
23 with data when you have 100,000 or 500,000 years of record,
24 that still represents the best actual reality that you can

1 have for a region, and logically when that is taken forward
2 into the future or used as a criterion to discuss the future,
3 it clearly can have problems, but it still represents the
4 best estimation of past boundaries outside of artificial
5 shifts in climate in the future.

6 DR. BREWER: Okay. The whole boundary issue is
7 something that Marty mentioned in his opening comments. Do
8 you want to follow on this? You've got your hand up.

9 MR. MIFFLIN: Well, I wanted to make a comment on
10 performance assessment and how it's being handled. If I
11 understand in reading the '93 and the '95 total performance
12 assessment, that the maximum fluxes that have actually been
13 run is something like less than a millimeter. Is that
14 correct? Am I wrong? I saw .3 millimeters per year at the
15 repository level on the '95 total system performance.

16 MR. WILSON: The fluxes get much higher than that in the
17 simulations.

18 MR. MIFFLIN: It was? I read something that .3 was the
19 actual simulation.

20 MR. WILSON: Well, .3 in TSPA-95 was used for some of
21 the hydrothermal calculations. But in the release in flow
22 and transport calculations, they went as high as--I'm not
23 sure I can remember--about ten, I think, millimeters per
24 year.

1 MR. MIFFLIN: Ten millimeters?

2 MR. WILSON: In TSPA-93, we went higher than that.

3 MR. MIFFLIN: Okay. It seems to me that in the
4 performance assessment, based on what we've heard in the last
5 two days where you now have real pretty strong evidence of
6 some of the behavior of the Yucca Mountain site specific
7 conditions where there is localized fracture flow that may be
8 very ephemeral in the present climate and it's very
9 localized, and it looks like you cannot get a distributed
10 flux down through the Topopah Spring host rock, that your
11 performance modeling should be looking at running more water
12 down localized areas.

13 Now, I understand that we don't know how many of
14 those you should be running it down or what they should be or
15 how long they should be, but that seems like the evidence is
16 there, you don't have to wait, and the evidence was
17 developing quite a while ago, so my feeling is is that the
18 modeling should be redesigned if necessary so you can handle
19 this problem, because it's going to be the problem and it's
20 going to be the issue. And if Alan decides that in a
21 distributed flux over the repository block under climate and
22 in extreme wet period is 11 millimeters per year, and then
23 some of the water is diverted so you can't say it's only the
24 repository area, so you might have to up it, or if he decides

1 it's five millimeters per year and you have to up it then,
2 whatever the scenario comes out, then you have to take that
3 and either you have to get rid of it some place, or you've
4 got to put it down into some zone. And that's what
5 performance modeling should be, I think, and you don't have
6 to have exact numbers.

7 DR. BREWER: Abe, do you want to pick up on that, and
8 then Purvis?

9 MR. VAN LUIK: Yes, I'd like to pick up on that, because
10 I'm basically in agreement that the way that we have modeled
11 to this point, we have done some extreme cases using the
12 weeps model, throwing everything into fractures, and show
13 that that has one consequence, and then you were shown those
14 consequences a minute ago, and then we have also used the ECM
15 approach, manipulating the fracture matrix interaction to see
16 what the sensitivity is, and we see there is great
17 sensitivity.

18 But I think that we are looking to the site program
19 to provide us the model that fits the observations, and then
20 we will work with them to make sure that the next TSPA gives
21 us the best possible, most defensible product that mimics
22 what we see in the mountain.

23 DR. BREWER: Parvis, you've been patient.

24 MR. MONTAZER: I just wanted to mention I don't think we

1 have a choice as far as modeling or paleohydrology and
2 paleoclimate. I think they all have to go hand in hand with
3 the site characterization. The signature of paleohydrology
4 is in the site, is in the unsaturated zone and saturated
5 zone. The paleoclimatology is going to provide us with
6 broken records. I don't think there's anybody that's going
7 to tell me that we're going to have a continuous record for
8 the past 10,000 years.

9 The only way we can tie these things together is
10 through the climatic and infiltration and the site hydrologic
11 models. Adding to that, I think, just following in the
12 performance assessment, the performance assessment eventually
13 has to be based on the hydrologic model for the site. Once
14 the hydrology of the model of the site is verified, to the
15 extent what's the definition of that, to the extent that we
16 can afford in this project, then that hydrologic model should
17 be used with all these different inputs for the performance
18 assessment.

19 DR. BREWER: Tom Wigley on this point, and then I'll go
20 to Roger. Tom, and then Roger.

21 MR. WIGLEY: I'd just like to go a little bit beyond
22 what Alan Flint said with regard to the estimation of changes
23 in or the range of possible infiltration rates. First of
24 all, it seems to me that the primary thing that we're trying

1 to do is get a range of possible infiltration rates, and what
2 Alan says, and I agree completely with him, is that in order
3 to do that in a credible way, you need information on a daily
4 time scale, and how one gets that information is a real
5 problem. It's a problem in trying to get it from paleo-data.

6 I have no idea how you can get daily time scale
7 information from paleo-data unless you go backwards using
8 some sort of model, you know, starting with ground water
9 fluctuations, then going backwards through infiltration and
10 vadose flow model to try and figure out what the variations
11 in infiltration are. And in any inverse calculation, small
12 uncertainties in the input lead to large uncertainties in the
13 output, which is actually what you want as the input. So I
14 don't think that's a good way of approaching the problem.

15 I don't think water table fluctuations, for
16 example, would be directly related to variations in local
17 infiltration rate. I think it's a very difficult problem to
18 back one out of the other. But I still think paleoclimatic
19 data per se are very useful, but one has to be very careful
20 how they're used.

21 There are similar problems with using model climate
22 data, and one of the points I made in my presentation is that
23 I don't believe any model data on the resolution that is
24 required for this study. I don't believe model precipitation

1 projections on a 100 kilometer resolution, or even maybe
2 1,000 kilometer resolution. So, you know, how do you
3 actually use the output of the climate model?

4 Now, the way that Alan was suggesting is to develop
5 a stochastic simulation model, and the simplest types of such
6 model might have three parameters, two for the amount and one
7 for the model process. And so what you need to do is in some
8 credible way tweak those stochastic simulation parameters,
9 and it is possible to do that with low spatial resolution
10 climate data provided one can show that the spatial
11 variability of those stochastic parameters is not as high as
12 the spatial variability of precipitation, and there is
13 evidence that that is true.

14 So that it is possible that we can use coarse
15 resolution information in order to tweak the high spatial
16 resolution stochastic simulation model. And it might be
17 possible to do that with paleoclimatic data as well.

18 I don't think these problems have been carefully
19 thought through at this stage, and maybe we're just at the
20 stage where that issue needs to be addressed more carefully.
21 How do we make the optimum use of the crude data that we
22 have available from two different pathways.

23 DR. BREWER: Roger Morrison was next on line, and then
24 Ike on this topic.

1 MR. MORRISON: Models tend to be highly deterministic,
2 and keep in mind that the geologic record, particularly of
3 the Quaternary period, shows frequent crossings of
4 thresholds. The stratigraphic climatic record of the
5 Quaternary shows that there were many, many times of
6 sometimes very sudden changes in types and rates of all sorts
7 of surficial processes, whether it be a stream, various kinds
8 of stream regiment, downcutting, lateral planation,
9 aggradation, soil developing, sand, dust, deposition, all
10 that sort of thing. But I think we need to keep in mind that
11 we need to consider thresholds and changes of maybe one or
12 more orders of magnitude in rates of various kinds of
13 processes.

14 Models are getting better than they were a few
15 years ago, but we need to perhaps consider chaos there,
16 something of this sort, and open to a larger field of
17 exploration, not just using present modern historic
18 conditions.

19 DR. BREWER: Thank you. Yes, Ike, did you want to
20 follow up, or even talk about chaos?

21 MR. WINOGRAD: Chaos? Can I talk on something else?

22 DR. BREWER: Please do.

23 MR. WINOGRAD: Okay, thank you. I think we need all
24 these studies, but I get the impression, again, I only pop in

1 on this program once every four or five years and it's
2 exciting and I appreciate the invitation, I truly do, and Ray
3 Wallace tries to keep me up to date, but there's just too
4 much going on. Anyway, the original concept of the site, as
5 written by Gene Roseboom in USGS Circular 903, was that (a)
6 there would be recharge, (b) that the vertical transmissivity
7 of the fractures in the Topopah would transmit the recharge,
8 (c) that other engineering measures could be used, shields,
9 umbrellas, other things, drains, to minimize the contact of
10 water with the waste.

11 It turns out from what I've heard today and over
12 the phone with Ed Weeks, the fracture permeability is on the
13 order of tens of darcies, much greater than Gene or I ever
14 thought, and I just would like some--well, my question is,
15 and I have a question I guess to Abe, is, now before going on
16 with engineered barriers, I would agree with Marty that you
17 cannot count on engineered barriers if you are tied, if the
18 nation is tied to the Academy's one million year
19 proclamation, then certainly engineered barriers fall, and I
20 think the whole concept of geologic disposal then falls. But
21 if we're not tied to that, then it appears to me this site is
22 just admirably suited to engineered barriers to get around
23 the fact that we cannot answer all these questions about the
24 natural system, and I don't think we ever will, we hopefully

1 will start to converge.

2 So my question to you, Abe, is is a major effort
3 being given by DOE to engineered ways of keeping the water
4 from the wastes, putting the high fracture permeability to
5 work? Are our studies being conducted to increase the
6 natural flow of air through the mountain to reduce the
7 humidity after the repository is shut? And even when heat is
8 below boiling, is below 100 degrees, what sort of effort is
9 being given to putting the natural permeability to work for
10 you?

11 DR. BREWER: There's that issue, and if I could add,
12 because it's been a question in my mind for years, I mean the
13 relationship of the uncertainties which are huge, engineered
14 barriers, which is an issue that keeps popping up, but how
15 does this relate to the design of the repository itself, the
16 advanced conceptual design? That always seemed to be kind of
17 the missing piece. Is that kind of on target?

18 MR. WINOGRAD: Exactly. But it's been there from the
19 beginning. It was there from the initial conceptual writings
20 on Yucca Mountain that this site lends itself superbly to
21 simple engineered barriers if we're not tied into a million
22 years of protection.

23 DR. BREWER: I wanted to go to Abe because the question
24 was really addressed to him, and then Neil Coleman, in that

1 order. Abe?

2 MR. VAN LUIK: I'm madly thrashing about looking for an
3 engineer. But from the performance assessment perspective,
4 we have felt all along that what we need in engineered
5 barriers is our engineered barriers that take advantage of
6 the physics that flow in an unsaturated environment, which I
7 think is what you were pointing to.

8 There is, in fact, a system study which comes due I
9 believe at the end of August, which is looking at various
10 options for enhancing the effectiveness of the engineered
11 barrier system, and I believe they are looking at some of the
12 options that you are in fact hinting at.

13 As far as air flow enhancements in the mountain,
14 that's a new concept on me personally, but others in this
15 audience may know something of it.

16 DR. BREWER: Parvis, on this point?

17 MR. MONTAZER: We have been looking at the potential
18 possibility, actually we've been doing some simulations and
19 we've proposed this on several occasions as to using the
20 natural ventilation if we can keep the repository open
21 without any backfill, without any real engineered barrier.
22 And preliminary results show that we can keep the waste and
23 everything dry if, and without any forced ventilation, just
24 by natural ventilation you can maintain a flow system that

1 will remove the moisture basically for as long as the
2 repository stays open naturally. You know, under certain
3 conditions, the repository can close and collapse, but as
4 long as it stays open, that waste can stay dry.

5 DR. BREWER: Before I forget about it, Abe, when that
6 study is available, I think we of the Board would like very
7 much to see it if it's possible.

8 MR. VAN LUIK: Yes, it's been referred to in the past as
9 the backfill study, but it's looking at other options besides
10 backfill. So you may remember it from previous discussions.

11 DR. BREWER: As the backfill study, yes. I think we've
12 talked about that, haven't we?

13 Any followup on this particular line? Ed Cording,
14 and then--

15 DR. CORDING: I know there's been discussion in the
16 program regarding ventilation, and my understanding, I don't
17 know if Dick Snell is still here from the M&O, but my
18 understanding is at present, the plan does not include a
19 ventilation component to it, at least certainly after
20 closure. But I know that several people have been interested
21 in that, and we'd certainly be interested in learning more
22 about what some of these studies are showing.

23 DR. BREWER: Neil Coleman?

24 MR. COLEMAN: I wanted to follow up on some of the

1 comments from earlier about paleoclimatology and the global
2 climate modeling, and so on. I want to be sure to
3 differentiate between climate modeling and the hydrologic
4 modeling that is being done at the site, the comments I made
5 earlier referring to global and regional climate modeling per
6 se.

7 Tom mentioned that you have to be very careful how
8 you use paleoclimate data. Well, I would also add you have
9 to be extremely careful how you use any model and that a
10 model used for any purpose has no more value than the
11 information used to construct it, and that isn't going to
12 change in 10,000 years.

13 I would submit that projections of future climate
14 that are based on Quaternary cycles would be just as good as
15 any projections that could be made with the assistance of
16 climate models, and especially climate models that pretend to
17 know what people might be doing 10,000 years from now. I can
18 tell you what people will be doing 200 years from now.
19 They'll be scrambling around looking for energy sources.
20 That's for sure.

21 Climate modeling won't hurt anything in this
22 program. It can't hurt a thing. But I just don't really see
23 the added value, what you have with it that you wouldn't have
24 without it. Proponents of climate modeling often use words

1 like catastrophic to talk about the changes that will come
2 about from anthropogenic activity, especially talking about
3 greenhouse warming. And I mentioned earlier that there is a
4 very finite resource of fossil fuels on this planet. There's
5 no question about that.

6 But in the debate, you seldom hear about the most
7 important aspect of planet earth as far as life on earth is
8 concerned. The earth is an enormous heat sink. It very much
9 resists major changes in climate, and even to compare the
10 coldest climates of, say, the Wisconsin Glacial Stage with
11 today, they are not actually on a planet wide scale huge
12 changes that would affect the existence of life on earth.
13 These are natural cycles that have been going on for a very
14 long time. And even during the current holocene, there was a
15 period of time with a warmer climate than today.

16 I mentioned earlier we've had a century of
17 industrial revolution. I believe it was called the
18 hypsothermal time, it was on or about 6000 years ago, also
19 known as the warmest post-glacial time. And one estimate
20 I've seen for it, and some folks here may have more current
21 information, is that the temperature was maybe a degree or
22 two degrees centigrade warmer than today. Now, there was not
23 any major anthropogenic activity going on, and it was during
24 the current holocene, and shows that natural variability even

1 during the current holocene could, I feel, swamps the change
2 in climate that we have seen from anthropogenic activity.
3 And anthropogenic effects are detectable, they are
4 increasing, but I would submit that they have not yet
5 approached the natural climate range of the holocene.

6 DR. BREWER: Okay, let's have one kind of closing
7 comment on that, and there's one big issue that we haven't
8 had a chance to air in the round table, and that really
9 relates to the presentation by June of the Chlorine-36, and I
10 know that Don Langmuir has been very, very patient and so has
11 Pat Domenico.

12 MR. MIFFLIN: Could I ask Ike one question, one quick
13 question?

14 DR. BREWER: Okay, here we go, and then we get to the
15 new topic.

16 MR. MIFFLIN: Ike, I detected in a polite way you did
17 not really subscribe to the Milankovich correlations, or you
18 kind of are holding back from adopting that as a predictive
19 tool. Is that true?

20 MR. WINOGRAD: That's correct, yes.

21 MR. MIFFLIN: And a second question. You did spend
22 quite a bit of time on the predictability of the duration of
23 an interglacial with respect to where we are right now. I
24 would like to ask you, or get some kind of response, if you

1 feel there is not a predictive tool out there that is
2 qualified to project into the future, wouldn't you have to
3 take a conservative analysis and say, okay, we have 10,000
4 year duration interglacials and we have 20,000 and we cannot
5 say when climate is going to change, so we have to assume in
6 a conservative sense that it will be sooner rather than
7 later, and secondly, we have to assume that it would be a
8 strong one if the Milankovich doesn't--so I think Neil was
9 getting down to how do we bound the decision making.

10 MR. WINOGRAD: May I answer that?

11 DR. BREWER: Yes. Ike, with a quick response.

12 MR. WINOGRAD: A quick response would be I would put on
13 my engineering geologic cap and take a reasonable worst case,
14 not the worst, but something close to it, and then I would go
15 to the engineering geologic community and ask can this site,
16 with this flux, can this site handle it. Is the
17 transmissivity of the unit large enough and other engineered
18 barriers to keep the waste dry most of the time? Because
19 there's no underground environment that I can picture that
20 would keep it any dryer, underground environment. That's
21 what I would do.

22 I mean, you can take that attitude and dispense
23 with all the academic studies. I would not do that
24 personally, because I believe in a well rounded program. So

1 that's what I would do in response to your question, worst
2 case. And in fact if you read Gene Roseboom's Circular 903,
3 and I plug it, we should all reread it, and by the way, the
4 air circulation concept is in that circular also, you'll see
5 that he did that. He said I'm going to take all the
6 recharge, the annual recharge, and put it down to the
7 repository in a couple hours.

8 DR. BREWER: Abe?

9 MR. VAN LUIK: I was going to take the opportunity to
10 kind of answer the question that was asked earlier. I think
11 it's a reasonable thing for the program to continue to invest
12 a modest amount in continuing this, you know, looking at
13 various angles of evidence for bounding what we should be
14 modeling.

15 On the other hand, you can see by the controversy
16 involved that we don't expect a definitive answer any time
17 soon. But I keep trying to drag this discussion underground
18 because I think, and your answer kind of hit on it, because I
19 think what June has shown is, for example, that Chlorine-36,
20 the good news it's still available there for us to look at,
21 so the repository didn't flush in one day, one month or one
22 year. It took some time for that material to get there.

23 And then Zell Peterman's stuff shows that in the
24 matrix, we essentially have already endured one or two global

1 climate changes, and still the evidence shows that we have
2 extremely low flux within the matrix, and that's where I
3 think I would focus my major effort, with a minor effort
4 continuing in looking at bounding the problem through global
5 climate work.

6 DR. BREWER: Don Langmuir?

7 DR. LANGMUIR: I like Abe's lead-in there. Thank you
8 very much, Abe.

9 What I was going to try and do was from my very
10 prejudiced personal viewpoint, try to pull together what
11 geochemistry I've heard. This is another piece of our
12 program, obviously, we've been talking about climatology and
13 some hydrology so far, but this is a multifaceted program and
14 my sense is that in the last year or so, geochemistry has
15 contributed a great deal to our understanding of whether this
16 is a suitable mountain or not. And, to me, I've been
17 suggested a number of directions to go because of this.

18 Let me tell you where I think we are now because of
19 the geochemical information that's come to us, and I will
20 tend to over simplify it because I'm not a hydrologist. I
21 think the issue really is what is the infiltration in the
22 repository block. We're worrying about it up on the surface
23 within 15 meters, but the bottom line is where is the water
24 going in the repository block, and the ESF studies bear

1 directly on that issue.

2 June Fabryka's studies with Chlorine-36 are telling
3 us we have some fast pathways. I had hoped we would be able
4 to back out of June's work and Zell and Jim's work the
5 volumes of water involved from the chemistry. I'm not sure
6 we can, not easily. But there's a lot of other information
7 available that is highly relevant here.

8 If it's true, and the sense I'm getting from Zell
9 and Jim's work is that they're seeing very slow precipitation
10 rates of silica and calcium carbonate. If they can show, and
11 I think maybe they're not too far from there now, that these
12 rates have always been very, very slow and they've been
13 fairly uniform, then maybe it doesn't matter what climate is
14 doing.

15 Maybe the issue is that no matter what climate has
16 done in the past or might do in the future, it will go down
17 those tubes with Chlorine-36, and the block in between, if we
18 can show that the rates of precipitation have been constant
19 and uniform for millennia, are suggesting that it's going off
20 to the side of the block, even though it's coming down all
21 over the place perhaps in the shallow horizons, as Alan Flint
22 would say, the bottom line is what's going on inside the
23 repository block. And if we can find a place in there to put
24 the waste that is as dry as it appears to be from these age

1 dates with uranium and Carbon-14, maybe that's all we need.

2 So I'm just suggesting that there are a number of
3 things we could pursue to continue with this. I would add
4 Alan had this great idea and started doing it, putting in
5 plastic sheets. We can add the infiltration piece to this,
6 get the volumes by putting those sheets up, and get current
7 volumes of infiltration through the matrix and through the
8 fractures with the plastic sheets. We can put the chemistry
9 into that water and get current information on transport
10 proportions in fractures and matrix.

11 Anyway, I think these are some pieces that have
12 come to me in the last couple of days, and I don't know
13 whether everybody agrees with me on this or where we are, but
14 I see this as much to the point on suitability as anything
15 we've talked about this week.

16 DR. BREWER: Let's see, Ed Kwicklis, you haven't said a
17 thing.

18 MR. KWICKLIS: It hasn't gotten too much attention at
19 this meeting, but I'm always encouraged by the results of the
20 weeps model that Mike Wilson showed very briefly here this
21 afternoon. And he showed a diagram between the number of
22 canisters contacted and flux, and unlike some very early
23 performance assessment analysis, it showed a very linear
24 relationship and a very robust relationship between

1 performance and flux, in that performance didn't deteriorate
2 extremely rapidly at some threshold value and the site fail,
3 and didn't require that we determine between .1 and .2
4 millimeters per year. It was a very robust performance over
5 a very broad range of percolation fluxes and assumed
6 essentially instantaneous transport from the ground surface
7 to the water table, no retardation.

8 I don't know what some of the details of their
9 assumptions are, but I think that the project has in some
10 sense overly accounted for in their PA analysis some of the
11 implications of the data that we've heard discussed here in
12 the last two days, and I would ask the Board to keep those
13 analysis and results in mind when considering the
14 implications of these recent data sets.

15 DR. BREWER: Okay, Ed, thank you very much.

16 One last comment here, and then we're going to have
17 to move on.

18 MR. WIGLEY: I just feel as though I have to defend the
19 vast community of climatologists and related disciplinarians
20 who have contributed to estimates of how anthropogenic
21 climate change, or how large anthropogenic climate change may
22 be in the future, and also to add a little bit to what Mr.
23 Coleman said about the paleoclimatic record, which I think
24 was misleading.

1 Firstly, it is true that proxy indicators show that
2 parts of the land areas of the globe in the summer period of
3 the year were significantly warmer, say, 6000 years ago than
4 today, but there is no evidence to suggest that the global
5 annual mean temperature was any warmer 6000 years ago than it
6 was today.

7 And in that context, a global mean warming of half
8 a degree celsius that's occurred over the last hundred years
9 is quite a significant event, and we can't say how
10 significant it is because it's quite difficult to reconstruct
11 global mean temperature variations in the past. We can get
12 seasonal variations, site specific variations. We can't get
13 good global mean. So it's an open question as to whether or
14 not the past record over a hundred years is significant
15 relative to natural variability, and that's well admitted in,
16 for example, the IPCC report that has just been published.

17 But that's not really the issue here. The issue
18 is, and if I go back to another statement that Coleman made
19 by default essentially, he implied that there wasn't enough
20 fossil fuel around to be able to raise global mean
21 temperature very much in the future. Well, that is just
22 wrong.

23 There's an enormous amount of coal available, in
24 the United States alone an enormous amount, but if you add in

1 China and other parts of the world, it's enough to raise the
2 CO2 concentration in the world to something well over 1500
3 parts per million, and that would have a very large effect on
4 global mean temperature. And the projections, the best
5 projections that can be made that certainly don't have any
6 inkling of using up all the fossil fuel available, the best
7 projections that we have global mean temperature change out
8 to the year 2100 are for a warming of one to four degrees.

9 At the top end, that's the same amount of warming
10 as occurred over the last 20,000 years from the last glacial
11 maximum to the present, and that's something that one ought
12 to be concerned about, and I think that's a pretty realistic
13 upper bound to the possible change on a 100 year time scale.
14 That's pretty rapid. The change could only be one degree,
15 but even one degree would be, I believe, and I think I can
16 support this with a lot of evidence, that a one degree
17 warming would be well outside the range of variability that's
18 occurred in global mean temperature over the last 10,000
19 years.

20 Another unfair statement, I'll just close with this
21 one, that was made was that to the effect that climate
22 modelers say that catastrophic changes are in store. Well, I
23 know of no climate modeler who has made such a statement.
24 There have been plenty such statements in the press, but I

1 don't believe these changes are catastrophic. I think they
2 are very important, but, boy, I'd never use a word like that.
3 I think humanity can adapt to quite large changes and quite
4 rapid changes in climate.

5 DR. BREWER: Okay, thank you very much, Tom. A quick
6 response from Neil Coleman?

7 MR. COLEMAN: Sea level was higher 6,000 years ago, so
8 some melting was going on somewhere. I just thought I'd
9 mention that. Also, the coal reserves in China have been cut
10 in half in recent years, the proven reserves.

11 And I'd also have to mention the fact that it took
12 approximately 3,000 to 5,000 years for the earth to reach its
13 warmest post-glacial time after the melting of the great
14 continental ice sheets. So it shows how long it takes the
15 earth to respond, because of that enormous heat sink I was
16 talking about, how long it takes to respond to these changes
17 in climate. And that's why even 100 years, 200, 300, 500
18 years of fossil fuels, I question whether that can bring
19 about really, and I think you used the word catastrophic in
20 this meeting at some point, a word like it or a synonym of
21 it--

22 MR. WIGLEY: I never would use that word. I never would
23 use that, and I think, you know, you're speaking out of the
24 top of your head basically.

1 DR. BREWER; Time out, please. I think this is a
2 conversation that you two guys should probably carry on on
3 your own, and I expect you will.

4 What I'd like to do, because he was the leader of
5 the band here for the last day and a half, is to turn it over
6 to Pat Domenico to talk about some implications for the
7 program, as he sees them. And when Pat's finished, we will
8 ask if there's any questioning or comment from the public.
9 So far, no one has signed up. Pat?

10 DR. DOMENICO: We haven't really addressed that. But,
11 you know, several months ago when I walked into that tunnel
12 and everything was dry, it would give you a nice warm
13 feeling. I'm sure anybody who's been down there gets that
14 nice cozy feeling. And then we start hearing about so-called
15 fast pathways, and presumably there's a lot of them, but they
16 always couple that with but it's a small flux.

17 Well, now let's bring the climate into it. Is it
18 going to be a small flux under new climatic regime, and
19 that's not a problem that you can engineer. That's a source
20 of water into that repository if they're in that repository
21 that we weren't thinking about, other than the matrix flow in
22 the fracture/matrix interconnections. This is another
23 source, and it may be a large source under different climatic
24 regimes, because those things may be almost ubiquitous down

1 there. You have to investigate every structural feature to
2 see if it's a fast pathway.

3 But where are we seeing this? We are investigating
4 the east side of the block, and my understanding is the east
5 side of the block is the more structurally disturbed one.
6 The repository is going to lie to the west in less
7 structurally disturbed parts of the rock, and we understand
8 the correlation between fast pathways and structure.

9 This program needs a western extension of the ESF
10 at the repository level into the rocks that will serve as a
11 repository. Maybe some of the fast pathway problems will
12 disappear in that part of the rock in the sense that we, at
13 least based on the surface mapping, it's less structurally
14 disturbed, and then we're not worried about that any more.

15 And what might that do to the climate issue? It
16 makes the climate issue much more tenable, much more
17 tractable because if indeed the fast pathways do not exist in
18 the repository region, then the only thing we have to worry
19 about is matrix, coupled matrix and fracture flow as the
20 water getting into the repository as one item, and one I
21 think that is less worrisome is the rise of the water table
22 200 meters from waters coming in from the north someplace.

23 So this program is, I think, in desperate need of a
24 western extension of the ESF. And keep in mind we're only

1 getting a small sample of those rocks in that area. And I
2 won't ask June, but I'd be curious to see how many structural
3 features don't produce hits. About half. About half don't
4 produce hits, and there's a hell of a lot of structural
5 features down there.

6 So I urge the program to think about a westward
7 extension, and maybe some of these problems will disappear,
8 or at least if we believe that correlation holds, maybe some
9 of those problems will disappear. If it's not done that way,
10 we're going to be talking about this forever, and it's never
11 going to be resolved. It's never going to be resolved. So I
12 think let's go to the rocks where the rocks count. That's
13 what I believe.

14 DR. BREWER: Okay, thanks, Pat.

15 We do need to make some time for public comment.
16 I've got one name, Dr. Gilles Bussod from Los Alamos.

17 DR. BUSSOD: Thank you for allowing me to speak.

18 I simply wanted to bring up an aspect of the
19 program that impacts all of the studies, particularly the
20 predicted ones that go out to a million years, both in
21 climate, hydrology and transport.

22 We are in a period that's not much addressed this
23 way, but we are in the Dr. Jekyll and Mr. Hyde period of
24 having two regulatory missions, one that is the official

1 present day one of 10,000 years, the other one that is dose
2 based and leads us to do modeling to a million years. And to
3 be honest, I have a very great difficulty understanding what
4 is the scientific or social economic basis for even
5 considering a million years.

6 A lot of the studies that are coming together in
7 terms of the integration modeling, the integration of all our
8 data over the past decade is showing that if the site will
9 fail, it's on the order of several hundred thousands of
10 years. And sort of the rhetorical question here is is it
11 even reasonable for us to talk about a million year
12 prediction.

13 Thank you.

14 DR. BREWER: Thank you very much. And since it was
15 rhetorical, we don't have to find an answer.

16 MR. MIFFLIN: Can I answer that?

17 DR. BREWER: Marty Mifflin has an answer.

18 MR. MIFFLIN: I would like to know who is projecting
19 that the site will fail in 200,000 years in terms of
20 engineered barriers. I think that that's the question; is
21 the site going to fail in terms of engineered barriers in
22 200,000 years.

23 DR. BREWER: Dr. Bussod?

24 DR. BUSSOD: Very quickly, we're dealing with a multi-

1 barrier redundant system and what all the studies show is
2 that we have on the level of hundreds of thousands of years.
3 We do have defense in depth. That is, you could have
4 failure of the engineered barrier system and under most
5 scenarios to date, and granted it's only to date, we have the
6 natural barrier system that can limit the dose to the
7 accessible environment within reasonable limits for over
8 several hundred thousands of years. So I would again remind
9 that the barrier system at Yucca Mountain is not an
10 engineered one; it allows for a very good engineered barrier,
11 but it's a redundant barrier system.

12 DR. BREWER: Okay. If there are no other comments from
13 the public, I would like to thank everyone who participated
14 in the panel. I think we actually covered a great deal of
15 territory. It served as, for me, a very nice summary of
16 discussions that were sometimes, as a non-technician, a bit
17 hard to follow. I think some of the major issues are
18 underlined. They're on the record and that's where they
19 belong.

20 Thanks to one and all. Thanks to everyone for a
21 very, very productive two day session, a good session.

22 John Cantlon, our chairman. John, do you have the
23 benediction?

24 DR. CANTLON: I have nothing further to add. Thanks to

1 everybody. Peace.

2 (Whereupon, at 4:50 p.m., the meeting was adjourned.)