

NUCLEAR WASTE TECHNICAL REVIEW BOARD

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

PROGRESS WITH YUCCA MOUNTAIN EXPLORATION AND
TESTING AND THE UNDERGROUND REPOSITORY
CONCEPTUAL DESIGN

Days Inn Crystal City
2000 Jefferson Davis Highway
Arlington, Virginia 22202

Wednesday, October 9, 1996

The Board met, pursuant to notice, at 8:30 a.m.

BEFORE:

EDWARD J. CORDING, ACTING CHAIRMAN
CLARENCE R. ALLEN, BOARD MEMBER
JOHN W. ARENDT, BOARD MEMBER
GARRY D. BREWER, BOARD MEMBER
JARED L. COHON, BOARD MEMBER
DONALD LANGMUIR, BOARD MEMBER
JOHN J. MCKETTA, BOARD MEMBER
JEFFREY J. WONG, BOARD MEMBER

PARTICIPANTS :

1 PATRICK A. DOMENICO, CONSULTANT
2 ELLIS D. VERINK, CONSULTANT
3 WILLIAM D. BARNARD, TECHNICAL STAFF
4 SHERWOOD CHU, TECHNICAL STAFF
5 CARL DIBELLA, TECHNICAL STAFF
6 DANIEL FEHREINGER, TECHNICAL STAFF
7 RUSSELL MCFARLAND, TECHNICAL STAFF
8 DANIEL METLAY, TECHNICAL STAFF
9 VICTOR PALCIAUSKAS, TECHNICAL STAFF
10 LEON REITER, TECHNICAL STAFF
11 MICHAEL CARROLL, STAFF
12 HELEN EINERSEN, STAFF
13 LINDA HIATT, STAFF
14 FRANK RANDALL, STAFF
15 VICTORIA REICH, STAFF
16
17
18
19
20
21
22
23
24
25

P R O C E E D I N G S

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

[8:30 a.m.]

DR. CORDING: We need to assemble so we can start our session this morning.

Good morning. My name is Edward Cording. I'll be chairing this session of the meeting this morning. It's my pleasure to welcome you to our fall meeting of the Nuclear Waste Technical Review Board.

Our Board Chairman, Dr. John Cantlon, who was also Chairman of the Woods Hall Research Center Board, was unable to join us today due to an overlap in his chairmanship duties. So I'll be chairing the session this morning and throughout the day.

I am pleased that you could join us and we're looking forward to some very interesting presentations. Much is happening in the program. We're looking forward to hearing about that and discussing that with the DOE.

A couple of announcements, administrative issues.

There are passes for your automobiles that are available in the back of the room. So if you would put those on your cars so that they don't get towed. Apparently, the Days Inn requires you to have some sort of identification on your car. So these are available to all of you who have driven to the meeting today here and are parking in the Days Inn lot.

As most of you know, the Board was created by

1 Congress in 1987, in the 1987 amendments to the Nuclear
2 Waste Policy Act. The Board is charged to independently
3 assess the technical and scientific validity of DOE's effort
4 in designing and developing the nation's spent fuel and high
5 level radioactive waste management system, including site
6 characterization at Yucca Mountain.

7 My field of expertise is in geo-engineering and I
8 am Professor of Civil Engineering at the University of
9 Illinois at Urbana-Champaign.

10 I'd like to introduce my colleagues on the Board.

11 They're Clarence Allen, Professor Emeritus of Geology and
12 Geophysics at California Institute of Technology. John
13 Arendt is a specialist on the nuclear fuel cycle and
14 transportation of radioactive materials. Garry Brewer, who
15 is one of our Board members, will be joining us. He's
16 Professor of Resource Policy and Management at the
17 University of Michigan.

18 Jared Cohon is Dean of the School of Forestry and
19 Environmental Studies at Yale University and he'll be
20 joining us shortly, as well. We have Don Langmuir,
21 Professor Emeritus of Geochemistry at the Colorado School of
22 Mines. John McKetta, Joe C. Walter, Professor Emeritus of
23 Chemical Engineering at University of Texas. Jeffrey Wong,
24 Science Advisor to the President -- excuse me -- to the
25 Director of the Department of Toxic Substance Control in the
California Environmental Protection Agency.

1 Past Board members who are now serving as
2 consultants pending their reappointment or replacement are
3 Ellis Verink, also at the table, distinguished service
4 Professor Emeritus of Metallurgy at the University of
5 Florida. And Pat Domenico; Pat is David B. Harris Professor
6 of Geology at Texas A&M and his specialty is hydrogeology.

7 Also with us is Richard Parizek, who is Professor
8 of Geohydrology at Penn State, and he is a consultant to the
9 Board.

10 Board staff is with us today and I'd like to
11 introduce Bill Barnard, the Board's Executive Director, and
12 others on the staff are with him.

13 Over the last years, we have witnesses
14 considerable progress in the DOE program. We've seen the
15 restructuring and focusing of the OCRWM program, the
16 development of a program plan, with a goal to completing the
17 viability assessment in 1998 and recommending the site to
18 the President in 2001.

19 We are all aware that this is a time of political
20 regulatory and funding uncertainty for the repository
21 program. However, we are also in the midst of a very large
22 increase, expansion of information, increase in the
23 scientific data available to improve our understanding of
24 the mountain, Yucca Mountain, and those processes that are
25 critical to assessing its performance and assuring the
safety of the repository, particularly in the areas of the

1 structural characteristics of the mountain and the
2 hydrologic implications of those characteristics.

3 Some of the things that have been accomplished and
4 are underway. Tunneling has been extended down to
5 repository level and north-south along the entire east side
6 of the intended repository area. It's providing access to
7 faults on the east side of the repository and a platform for
8 further exploration across the site.

9 The thermal test area is being developed. The
10 first phase of the initial testing, a bore-hole heater test,
11 is underway. Results from isotopic studies, such as
12 chlorine 36 sampling, are being obtained along the tunnels
13 to evaluate the flux and flow characteristics of the
14 mountain.

15 Today and tomorrow we will be concentrating on the
16 engineering and scientific side of the program, particularly
17 the plans for fiscal year 1997 and beyond. We'll be looking
18 at the new scientific data, what it means for the program,
19 and we'll be discussing some of the aspects of the design
20 and operation of the repository.

21 We are very pleased to have with us this morning
22 Dr. Dan Dreyfus, who is director of the program in the
23 Office of Civilian Radioactive Waste Management program, and
24 the architect of the changes to the program to which I've
25 just referred.

Dr. Dreyfus will review plans and priorities for

1 fiscal year 1997, the year which started approximately a
2 week ago, and will be discussing aspects of the program,
3 including the viability assessment.

4 Dr. Dreyfus, we're very pleased to have you with
5 us. We're pleased to join you here in Washington and
6 discuss with you issues that you are pursuing as director of
7 the program.

8 DR. DREYFUS: Thank you. I'm always glad to have
9 an opportunity to meet with the Board. And it's fortuitous
10 when you meet in Washington because I find that it's hard
11 for me to get out of Washington. I'm almost afraid to leave
12 Washington these days.

13 I would like today to give you a brief update on
14 the status of the program. You will be having a number of
15 presentations from members of my staff about particular
16 things you've asked us to talk about at this meeting, and
17 then to address the concept of the viability assessment,
18 which I think perhaps needs some additional discussion.

19 When I addressed the Board last, the program was
20 indeed in transition, as Professor Cording has said. We
21 very nearly lost the program, as we know it, a year ago with
22 the budget reductions, and, of course, what we have been
23 doing over the past year is figuring out how to restructure
24 it in accordance with the obvious directions that we're
25 getting from the policy community.

We have revised the program to manage the 1996

1 funding reduction and we have been able to regain a strategy
2 that I think is consistent with the realities of the budget
3 and with the Administration's policy for the program.

4 We published a revised program plan in May of
5 1996. It was supported by the President's fiscal year '97
6 budget request and it has now been endorsed by the Congress
7 in the subsequent Appropriation Act that came out a few
8 weeks ago.

9 During the past year, we were able to make
10 substantial progress in constructing the exploratory studies
11 facility and carrying out other aspects of the program at
12 Yucca Mountain, despite the disruption of the large
13 downsizing that was required to manage an unanticipated
14 funding reduction.

15 Because of the reduction, we were not able to
16 optimize the 1996 activity. During the year, we needed to
17 manage cash flow on a daily basis. The Federal system does
18 not permit you to miss the funding goal on the upside. You
19 can only miss it on a downside. It's a jailable offense to
20 spend more than you've got and you can't go get some more.

21 So we had to watch that very closely and until
22 well into the end of the fiscal year, we were not certain
23 about termination costs or we were not certain about cash
24 flow. So I would not call it a -- I would not call it an
25 optimum year. We had to forego a delay of some expenditures
that would have given us greater production at the mountain.

1 However, we didn't do bad. The tunnel boring
2 machine passed through the repository area and the turn
3 toward the south portal and is now on its way out of the
4 mountain.

5 We will be gaining additional important
6 information in what is the last mile of tunneling. That is,
7 I call to the attention of the Board, an east-west
8 direction, although not in the repository area itself.

9 A greater emphasis, I think, in the next year will
10 be on the penetration of the Ghost Dance Fault, the heater
11 tests and other aspects of data collection in the ESF, in
12 the repository formation.

13 We began a small-scale single element heater test
14 on August 26. Construction of the two alcoves that will
15 give us access to and ultimately penetration of the Ghost
16 Dance Fault has begun.

17 In the fiscal '97 appropriation, we received \$382
18 for the program. The Congress stipulated that no oversight
19 funds ought to be provided to the State of Nevada and the
20 units of local government. The amount they gave us is 18
21 million less than our request, of which 11 is associated with
22 the state and county oversight programs.

23 That leaves us with an incremental reduction of
24 seven million out of the money that we anticipated having
25 for program activities, internal program activities, and the
Congress instructed that that remaining seven million be

taken from program management and cooperative agreements.

1 And we indeed will take it from program management. It
2 will, therefore, not impact the program plan with regard to
3 the work scope that needs to be done, but it will impact
4 other aspects of our activities, such as institutional work
5 and management type expenditures. We will have to manage
6 the program with considerable less contractor support.

7
8 You should also be aware that contemporaneously,
9 we are reducing Federal staff. We have been able to meet --
10 the Department has a restructuring plan that was put in
11 place by the Secretary a couple years ago, I think, now, and
12 we were able to meet our fiscal year 1996 staffing target
13 without involuntary separations in this program. Well,
14 there are sizeable involuntary separations going on as we
15 speak in other aspects of the Department.

16 Meeting our lower targets for the end of fiscal
17 year '97 will not be easy. We may not do it through
18 attrition and buy-outs and we may, in fact, have involuntary
19 reductions in the coming fiscal year. From the approved
20 Federal employee target that we had a couple years ago,
21 we've about a 20 percent reduction.

22 Congress, of course, adjourned without completing
23 legislation addressing the near-term management of spent
24 fuel. This means, of course, that there is no authorization
25 for siting an interim storage facility. In my judgment,
completed legislative action on that issue is unlikely in

the first year of the next Congress.

1
2 However, any scenario of interim storage or
3 disposal is going to require a national transportation
4 effort. The program has an approach, and will continue to
5 develop it, for market-driven waste acceptance, storage and
6 transportation effort. This will rely on a major
7 procurement to essentially acquire the services necessary to
8 mount the transportation effort in its entirety when it is
9 needed.

10 The procurement activity which we are starting
11 will provide a forum to resolve policy and institutional
12 issues that confront transportation. It will also, I think,
13 enlighten the policy-makers about the realities of an
14 unprecedented logistical undertaking.

15 We also will complete a topical safety analysis
16 report for a generic interim storage facility of the type
17 that has been discussed in pending legislation. That will
18 be a facility without regard to a specific site. The
19 interactions that we'll have with the Nuclear Regulatory
20 Commission regarding that topical report will also provide
21 another issue resolution forum in which we can discuss with
22 the Commission what will be required to actually license
23 such a facility if and when a site is selected.

24 Our 382 million spending level will allow us to
25 meet all of the fiscal year '97 milestones that are in the
program plan. I have listed several of them in my prepared

presentation, which will be available.

1
2 Some of the key milestones, in my mind, would be
3 to daylight the tunnel machine, which is more symbolic than
4 programmatic, but nonetheless an important accomplishment;
5 penetrating the Ghost Dance Fault, which I personally expect
6 to be revealing in many respects. We will be re-initiating
7 the environmental impact statement activity for the
8 repository, which we had to suspend for budgetary reasons
9 during '96. I think that will be the focus of a great deal
10 of attention and an important undertaking.

11 And we will initiate a rule-making on repository
12 siting guidelines, the Department's repository siting
13 guidelines, which will make them consistent with the program
14 plan.

15 I would now like to turn my attention and your
16 attention to an aspect of the strategic plan that seems to
17 require more discussion, and that's the concept of a
18 viability assessment in 1998.

19 Those of you who know me know that I rarely, if
20 ever, use visual aids. An early mentor of mine referred to
21 them as the crutch of the inarticulate, and they tend to
22 distract the audience from what you're saying. So this is a
23 diversion, but there is enough complexity here that I think
24 a visual may help.

25 This slide illustrates the decision process
leading to the development of a repository, and it's a

1 complicated slide because it's a complicated process and
2 that's one of the points that I want to make. It is a
3 complicated, not a simple process.

4 Most of the fundamental requirements for that
5 process are now set forth in statutes. They are set forth
6 in either the Nuclear Waste Policy Act, as amended, which is
7 the charter for this program, or the more recent
8 requirements of the fiscal year 1997 Energy and Water
9 Appropriation Act.

10 The Nuclear Waste Policy Act designates the
11 Secretary site recommendation to the President as the
12 Department's principal programmatic decision point. This
13 decision point is a final agency action. It requires a
14 completed EIS and it will be subject to a lot of external
15 review.

16 In our revised program plan, we expect to achieve
17 the site recommendation milestone in 2001. It's important
18 to remember that the Secretary's responsibility prior to
19 that decision is to evaluate the site. The act provides
20 that the director and, thus, the program shall carry out the
21 Secretary's function in this regard.

22 The act also provides that, and I'm quoting from
23 the act, "If the Secretary, at any time, determines Yucca
24 Mountain site to be unsuitable for development as a
25 repository, the Secretary shall terminate all site
characterization activities at such site, notify the

1 Congress and the Governor and the legislator of Nevada of
2 such determination and the reasons for such termination,"
3 that's the end of the quoted part, and the act goes on to
4 say, and within six months, recommend a new path forward.

5 Now, although this diagram presumes continuing
6 progress to a license application and beyond, the Secretary
7 currently is in the position of being the first judge of
8 site suitability and may stop the action with a negative
9 decision at any point and without external concurrence, and
10 this is a profound responsibility that I keep trying to
11 communicate to my staff and to external audiences.

12 The Secretary does not become an advocate of the
13 proposed repository until a positive site recommendation
14 decision is made, and that is made here. So until that
15 time, this program is in judgment of this proposal and not
16 an advocate thereof.

17 Now, the act details the requirements for site
18 recommendation and they are complicated. Prior to any
19 decision or recommended Yucca Mountain site, the act
20 requires that the Secretary hold public hearings in the
21 vicinity of the site, notify the State of Nevada of the
22 proposed recommendation. The act also requires the
23 Secretary to provide a comprehensive statement of the basis
24 for the site recommendation and specifies in the act the
25 nature of the information that has to be submitted, and that
information is submitted both to the President and made

available to the public.

1
2 The information includes a description of the
3 proposed repository and the waste form or packaging and a
4 discussion of the data from site characterization relating
5 to the safety of the site. The act also requires the formal
6 participation of external parties. The Department must seek
7 comments of Nevada and other affected governments. The
8 Nuclear Regulatory Commission must provide a preliminary
9 comment on the sufficiency of site characterization
10 analysis.

11 The Department must also complete the public
12 process for the development of a repository EIS consistent
13 with both the National Environmental Policy Act and the
14 modifying requirements of the Nuclear Waste Policy Act.

15 If, following the Secretary's recommendation, the
16 President considers the Yucca Mountain site to be qualified,
17 the President will submit a recommendation of the site to
18 the Congress, along with the information provided by the
19 Secretary.

20 The President's recommendation has a complex set
21 of requirements leading to either the acquiescence of the
22 Congress or rejection by the Congress through inaction.

23 Now, there are, of course, very specific
24 requirements that must be met for the license application to
25 be docketed by the Commission and the Commission will be the
arbiter of the application's adequacy.

1 Subsequently, we will have to support our
2 application throughout the licensing process, which is
3 certain to include adversarial intervenors and probably
4 litigation.

5 So it's pretty clear that the site recommendation
6 represents a solid and consequential decision point. The
7 adequacy of the judgment made and the required supporting
8 documentation are not set forth by the standards of this
9 program. They must also meet the requirements of the act
10 and survive the scrutiny of external participants in what
11 will be an extended public decision process.

12 Now, to go back to my first diagram, the viability
13 assessment is not the same thing. If it were, we would
14 simply make it earlier by 34 months and save the public \$850
15 million of additional work. Rather, the viability
16 assessment is a step along the way. It is a management tool
17 for the program and it is a major informational input to the
18 policy process.

19 Based upon what is now a decade or more of data-
20 gathering, analysis and conceptualization, which we have
21 already completed, by placing the emphasis for the next two
22 years upon the most significant remaining issues, we can, by
23 September of '98, compile a comprehensive description of the
24 design and operational concept for the repository. We can
25 assess the performance of that concept in the geologic
setting, which we know a great deal more about today than we

did at the outset of the program.

1
2 We can accompany that conceptual presentation with
3 a cost estimate, which will be much more meaningful than any
4 cost estimate that has been created to date. And we can
5 present a plan for the remaining work necessary to complete
6 a license application, which will, again, be based upon a
7 comprehensive concept of what we intend to do rather than a
8 judgment about the real estate.

9 In my opinion, such a comprehensive description
10 and proposal is essential for rational completion of the
11 site recommendation. I think it's a priori need and it's a
12 need to have it prior to the completion of the work so that
13 the work will be completed appropriately.

14 We will not be finished with our evaluation of the
15 site in 1998 and the Secretary will not be in a position to
16 make a positive site recommendation in 1998.

17 Now, on the other hand, consideration of a
18 comprehensive concept will, for the very first time, put
19 many singular data points into a comprehensive perspective
20 that we do not now have. This could become the occasion for
21 a negative decision by the Secretary. If the compilation of
22 the viability assessment does not result in a negative
23 decision, however, no decision will be made, except the
24 decision that we make every morning to come back to work and
25 continue the site investigation.

If you will hark back to my earlier remarks about

1 the obligation and responsibility of this program, for all
2 practical purposes, we decided this morning not to stop and
3 we will decide the morning after the viability assessment
4 whether to stop or not.

5 Now, I think in the process of compiling the
6 viability assessment, we will become enlightened in ways
7 that we are not enlightened in the normal Monday or Tuesday
8 morning because we will try to assemble the data in a
9 meaningful, comprehensive way, and we may find that there
10 are things we don't know and can't do. But if we don't, we
11 are not finished. We are simply continuing.

12 The viability assessment, however, will give all
13 participants a better comprehension of this venture and the
14 significance of the data that we then have. It will give
15 policy-makers information about the probability that a
16 repository is a viable undertaking in ways that we do not
17 have.

18 The President has stated that this information
19 should be available before the siting of an interim storage
20 facility is decided upon. The Congress has required the
21 viability assessment to be completed in September of 1998,
22 as set forth in the revised program plan. It is required by
23 the Appropriation Act and it lists in the Appropriation Act
24 the four components that will be required to be presented to
25 the Congress and the President on that date. They include a
preliminary design concept, focused on the more important,

1 significant underground aspects of the proposal; a total
2 system performance assessment based on the data then
3 available; a plan and cost estimate for the remaining work
4 required to complete a license application; and, an estimate
5 of the cost to construct and operate the repository in
6 accordance with that concept.

7 Now, as we implement the program plan, it's
8 important that the distinctions between the viability
9 assessment and the site recommendation be appreciated and
10 preserved. Each has a purpose and I think each can
11 appropriately serve that purpose.

12 If, however, we turn the viability assessment into
13 a final go/no go decision, which begins to look like the
14 site recommendation, then either we will be making the site
15 recommendation decision prematurely and based on
16 insufficient data or else we will have to delay the
17 viability assessment and it will not provide the information
18 to the decision process that the Congress and the President
19 expects.

20 There seems to be some psychological need on the
21 part of many observers to convert the viability assessment
22 into such a formal final decision. That has not been done
23 in any formal document. It is not so in the program plan.
24 It is not so in the President's communications to the
25 Congress. It is not so in the Congressional documents.

It keeps recurring, however, in casual

1 conversation and in informal written commentary. Now, I
2 think it's incumbent upon those of us who are obliged to
3 spend serious time on this program to try to keep this
4 distinction clear. If we do not, we may find that
5 misunderstandings on the part of policy-makers have become
6 expectations and that the expectations have begun to dictate
7 the character of the decision process.

8 It's not our intention to change that decision
9 process, but that can happen in the policy process
10 inadvertently or through misunderstandings.

11 So one of my reasons, one of my intentions here
12 today is to ask the Board's assistance, in its interactions
13 with the grander and greater community of interests on this
14 program, to help us to keep these distinctions clear.

15 The program has put forth and is implementing a
16 credible plan. The plan maintains momentum towards a
17 national decision on geologic disposal options. I think
18 that's what this program has been charged to do and is doing
19 at this time. The program has the charge to bring to
20 conclusion a national decision on whether we are going to go
21 forward with geologic disposal at Yucca Mountain.

22 With continued funding, which is now at a more
23 modest rate than in any previous program plan, and with an
24 updated regulatory framework for the site recommendation
25 decision, which is consistent with the program plan and
enlightened by the data we now have, we can meet the

schedule we have established for that decision process.

1
2 I thank you for the opportunity to brief the
3 Board. I'll be happy to answer questions and I intend to
4 stay here until the lunch, so we'll proceed how you wish.

5 DR. CORDING: Thank you very much, Dan. We really
6 appreciate that. We're not sure whether it was the visual
7 or the spoken part of your presentation, but it certainly, I
8 think, provided us with a very clear picture of how you are
9 proceeding and I'm very appreciative of that.

10 We have time certainly for discussion and
11 questions from the Board. John Arendt.

12 DR. ARENDT: Since interim storage has been
13 discussed at great length or is being discussed, I'm
14 wondering whether -- what I'd like to know on that -- if you
15 could put the chart up there -- whether it might not be a
16 good idea to indicate on there when interim storage
17 construction starts.

18 This is a question that is in the minds of many,
19 many, many people and when I look at that viewgraph and if
20 I'm interested in interim storage, it doesn't tell me
21 anything.

22 So I don't say that you ought to do it, but I'm
23 particularly interested myself as to when does interim
24 storage start. Does it start in the year 2001 or does it
25 start in 1998 or somewhere in between or sometime later?

DR. DREYFUS: Well, there are a couple of reasons.

1 First of all, that chart is entirely consistent with the
2 current statutory basis for the program, which does not
3 include interim storage in any respect, except in the notion
4 that there could be interim storage associated with the
5 actual construction of the repository.

6 So the interim storage concept, as it has been
7 debated over the last two years, has no statutory basis,
8 isn't there at all. The program plan is consistent with the
9 Administration position, which says that there ought not to
10 be a siting decision made until the viability assessment
11 information is available.

12 In the program plan, we have assumed, because one
13 must assume something, that a site would be chosen after the
14 viability assessment is available. So we are, in our non-
15 Yucca Mountain work, presuming a choice of a site in 1999
16 and, therefore, preparing long lead-time work on what such a
17 facility would look like, how it would be licensed and how
18 one would mount the transportation initiative, assuming the
19 choice of the site in '99.

20 Now, if there were a site chosen in '99, then
21 depending on what the act says, you have a lead time after
22 that to building the thing. I have said that under existing
23 law and without any specific special provisions of the act
24 with regard to environmental impact statements or licensing,
25 it would take four years from the site selection to the
first transportation of waste.

1 Given some of the work we're now doing on the
2 procurement, transportation procurement, one might say
3 three-and-a-half or something like that. Some of the act,
4 some of the draft bills and partially enacted bills had in
5 there special provisions for contemporary writing of EISs
6 and licensing and construction, which might have shortened
7 that lead time somewhat. But under existing law, it's a
8 three-and-a-half to four year operation from the time of
9 authorization and site selection to the first shipment of
10 waste.

11 DR. ARENDT: One other question. The May 1996
12 program plan that you're currently using, are you using that
13 exactly as written or has it been modified or does it need
14 to be modified in order to meet your financial commitments?

15 DR. DREYFUS: Well, not much. That plan was put
16 together contemporaneously with the development of the
17 President's budget for '97. It's consistent with the budget
18 for '97. We got the money essentially, as I say. We will
19 take the \$7 million hit in management, but we will carry out
20 the work plan in that program plan in '97.

21 We have requested the amount we need for '98.
22 That budget cycle is only beginning. So we probably don't
23 have to make very many modifications.

24 Now, we will be having a programmatic strategic
25 planning meeting in about three weeks, two or three weeks,
at which point we're going to look at several things. First

1 of all, what actually was accomplished in '96? We went into
2 '96 in kind of a state of disarray, as you may recall, with
3 an unanticipated \$85 million reduction.

4 So what we did in '96 is not necessarily what we
5 said we were going to do in that plan and we'll have to
6 adjust the program accordingly. The other thing is the
7 program, we get smarter, oddly enough, each year. There is
8 a learning curve and we have other modifications. So the
9 end of this month, we're going to look at just that
10 question, to what extent do we have to amend the program
11 plan.

12 I see no reason why any major dates or target
13 dates, high level target dates would change. The work plan
14 may very well change.

15 DR. CORDING: Other Board questions? Don
16 Langmuir.

17 DR. LANGMUIR: Dan, the Board, for its own
18 benefit, because we like the word suitability, we've been
19 trained by the DOE to use.

20 DR. DREYFUS: Yes, I have, too, and now they're
21 training me not to.

22 DR. LANGMUIR: But we defined it as, among
23 ourselves, representing a time when there was a high
24 probability that the site could be considered suitable,
25 could isolate high level nuclear waste for -- use the word
to define itself, right? That there was a high probability

1 of being able to isolate nuclear waste for a long period of
2 time.

3 The way I read your chart up here -- I'm sorry
4 that I like charts like this, as a professor, but I do.
5 That stands -- that represents the site recommendation point
6 in your chart, to me. Is that how you would view the old-
7 fashioned site suitability concept? Is that about where we
8 would be? Same thing?

9 DR. DREYFUS: I think so. I considered it at one
10 point, but didn't suggest to the chart-makers that we shade
11 this thing, because what you really have is a continuum.

12 What you really have is a continuum, but we know
13 something now. We know something right now about the
14 probability of success. I think when we hit the viability
15 assessment, we will have a step function in knowing that
16 only because we will have aggregated, for the first time
17 around, a particular proposal where the performance
18 assessment be hard-wired to a specific design concept and a
19 cost estimate.

20 But it's a step function in a continuum. At the
21 site recommendation point, the Secretary has got to come
22 down on a kind of a go/no go decision. At that point, the
23 Secretary makes a formal statement that the site is okay and
24 that, I think, is where that situation occurs.

25 But bearing in mind that we will then be putting
together data that the Commission thinks is necessary to

1 convince them and in constructing the repository, we're
2 going to do 100 miles of tunneling. So it just doesn't end.

3 But at the site recommendation, the Secretary has got to
4 make a call. The President has got to agree or disagree
5 with it.

6 So I think, yes, at that point, I would say you're
7 making that decision. Prior to that point, I would say it
8 remains an evaluation on the part of the program and the
9 Secretary.

10 DR. LANGMUIR: I have one more.

11 DR. CORDING: Go ahead.

12 DR. LANGMUIR: Unrelated. I think the Board, as a
13 whole, has been very concerned over the years that DOE
14 maintain and enlarge its involvement of concerned parties,
15 whether they be state people or others, and the Congress'
16 decision that you should not have any funding to do so, I
17 think, is a big concern for us.

18 I'm wondering what, if anything, you can do or
19 feel you can do to bring in the larger audience, the
20 concerned parties into the process of making decisions, as
21 well as educating them along the way as you proceed, in
22 spite of the Congress saying you can't have any money for
23 it.

24 DR. DREYFUS: Well, we are, at the moment, in a
25 lawsuit on that -- on part of that, because -- I don't know
to what extent you've followed the action. I have requested

1 the funding for the state -- the Nevada county and state
2 funding. Each time last year we -- in '96, we requested it
3 and we were told by the Congress in the report, the
4 committee report, not to give it to the state.

5 We wrote a letter saying we intended to do it in
6 any event and got a strong letter back from the House
7 Appropriation Committee saying you do that and you'll wish
8 you hadn't, and we didn't do it.

9 Now, we then, again, requested the information --
10 the money in '97 and in '97, when I appeared before the
11 House committee, I said we asked for it, we're asking for it
12 again, and this time they put it in the act. They put it in
13 the statutory language of the '97 act, there will be no
14 money to go to that purpose. And the state has sued for the
15 '96 money, which they contend we had a statutory requirement
16 to provide.

17 I don't know how that's going to come out. My own
18 view is clearly stated and I've told it to the Congress at
19 every opportunity in my prepared statements and in cross
20 examination testimony. So I believe it's important to have
21 the counties involved and I believe it's important to have
22 the state involved.

23 I have a strong appreciation for the fact that the
24 counties are simply unable to provide proactive involvement
25 in this program if we don't fund it. The state may find it
a burden, but the state is big enough to do it.

1 So I'm not happy about that. We do many things to
2 provide opportunities for people to participate and the
3 problem gets to be do they have the capability to
4 participate, do they have the capacity; for example, do our
5 directors program reviews open, people from the state and
6 counties do come and participate, they're pretty much
7 everything that's going on. We do provide them with
8 briefings.

9 So as far as the Nevada side of the program, we do
10 as much as we can, but I understand, if you don't fund them,
11 they have a very hard time participating. They don't have
12 full-time employees. They don't have the kind of funds that
13 they need.

14 I don't know what the answer to that is. We will
15 be going into a NEPA process on the repository, which will
16 provide another opportunity for involvement, for public
17 information. So that just is one of the imponderables, but
18 if told me to cut cooperative agreements, which we have with
19 many interested groups, we cut them by two-thirds last year,
20 I'm going to try not to do much more of that. Two-thirds is
21 a pretty heavy hit.

22 So the clear intention of the Congressional policy
23 is that we not spend a lot of money on that and we'll try to
24 figure out ways to do it without spending a lot of money on
25 it. We have home pages and that sort of thing which are
voluminous and available and we're using every technique we

1 know of to make everything available to anybody who wants
2 it. The question is do they have the capability to access
3 it without support. That's a real question.

4 We will request the funding again and we will
5 approach the new Congress, which will be new in many
6 respects, on that account and seek to clarify that policy
7 next year.

8 DR. CORDING: Clarence Allen.

9 DR. ALLEN: It must be disconcerting to the public
10 and to political leaders that, although perhaps no surprise
11 at all to scientists and engineers, that this late in the
12 program, after many years of study and then millions of
13 dollars being spent, that we are making discoveries, and I
14 speak particularly of the chlorine 36 situation, that may
15 have significant effect upon the design, on strategy, on the
16 aspects of the strategy.

17 I guess my question is how can we or how can you
18 best and how can we best, if it seems appropriate, assure
19 the public that it's realistic to make a viability
20 assessment within two years and the other milestones on down
21 the line in the light of scientific findings that indicate
22 we don't understand the principal technical concern --
23 namely, the hydrologic flow through the site -- as well as
24 we thought we did, and yet that remains the most critical
25 technical issue, in most of our minds, I think.

DR. DREYFUS: Well, we're talking about the

1 analytical approach to this and I think in any analytical or
2 scientific pursuit, you have some phases to go through. The
3 first phase is clearly to collect data almost at random and
4 begin to sort of understand the terrain. And then as the
5 data begins to inform you, you begin to systematize or sub-
6 systematize, I think I understand this part or that part,
7 and some things become more important and some things become
8 less important.

9 There has to be this evolution and eventually you
10 have got to come to the point where you have a working
11 hypothesis of what you specifically intend to do and you are
12 beginning to measure new information against that working
13 hypothesis, not just viewing new information as interesting
14 information that changes one of your subsystem concepts.

15 I think that's what the viability assessment is
16 aimed at. It's aimed at saying, okay, this is what my
17 working hypothesis of this repository is in its setting and
18 from here on out, I'm looking to see if the new information
19 refutes, changes, confuses that working hypothesis.

20 If, after almost 15 years of kicking rocks at
21 Yucca Mountain and the tunnel through the repository
22 formation itself, we cannot come up with a working
23 hypothesis that says here's one way we could build a
24 repository and here's what we think its behavior would be,
25 then I'm afraid I must say to you the country is not going
to hang around. You're going to wind up with long-term

1 surface managed storage and we aren't do geologic disposal.

2 Now, that's a personal opinion. It reflects no
3 judgment by the Secretary or the President, but it's the way
4 I read the tea leaves, and I've been reading them in this
5 town since 1960, so I have an independent ability to make
6 that statement. Sooner or later, you have to fish or cut
7 bait. We have to say this is what we would build if we were
8 going to build it now.

9 Now, you can then say it's very sensitive to this
10 parameter and I've got to keep looking at that parameter
11 until I sort it out and you can change your mind with new
12 data, but you can't hold all options open forever.

13 And the other thing is there's no way I know to
14 focus the science except to look at what it is we're trying
15 to prove. So I think it's entirely logical to have that
16 kind of a working hypothesis. I think we probably should be
17 working more on one right now, a much more informative one,
18 of course, but one of the things that's troubled me right
19 along in this program is I don't have what I consider to be
20 a definitive enough working hypothesis for me to know
21 whether chlorine 36 is truly a threat or not.

22 I was asked that by the Commission the other day,
23 is this a showstopper, and I said, well, I don't think it
24 is, but it could be. It could be. Well, how could it be?
25 It could be if I'm resting my working hypothesis on a
humidity situation that is refuted by this data point. I

1 don't know. I should know. I think you can get there by
2 '98. I don't think we're there now. Wouldn't try to pull
3 that together today. I haven't tried to pull it together
4 over the last four years.

5 I think we can pull it together by '98 and it will
6 be meaningful. It will not be definitive, but it will be
7 meaningful and we will know whether the evidence of the
8 chlorine is, in fact, a serious enough change in our
9 expectations that we don't know a way around it or it just
10 means a design change, and that's basically the issue.

11 DR. CORDING: It seems to me that certainly at the
12 time of that viability assessment, it's the time -- you
13 really are assessing where you are and what remains, and I
14 think you made that comment in your presentation. I
15 appreciated it.

16 As I understand it, you're going to be saying, at
17 this point, here's the way forward to our site
18 recommendation, here are the things that we want to continue
19 doing. We haven't completed our work, but we're going to be
20 continuing the investigation to get to the point of making a
21 recommendation on suitability to the President.

22 And it seems to me that that's an extremely
23 important part of this, because it really is something that
24 I see the DOE being asked to provide that sort of
25 information. I see us, as a Board, being asked to respond
to questions regarding that.

1 At this point, what is the way forward or what is
2 necessary? Are we going in the same direction? Do we feel
3 that we're going to get to the point with the remaining
4 portion of the investigations?

5 That was sort of a statement, but I was really
6 asking you for your perspective on that.

7 DR. DREYFUS: Well, in the plan, there is clearly
8 several hundred millions of dollars and two years of work
9 between those two points. So we wouldn't be there if we
10 thought we were finished at the viability assessment.

11 The other point that I would make about this is
12 that I can remember my first appearance before the Nuclear
13 Regulatory Commission, when I was confirmed, Chairman Selin
14 saying "I wish I knew better what it is you're trying to do
15 so I could have a better ability to judge whether your
16 investigation program is adequate."

17 And I think that's another point. Somewhere along
18 the way, people have to say what is it you're trying to do
19 so I can make my own judgment about whether you know enough
20 about the flux and amount and you know enough about the rock
21 mechanics in the east-west direction. What is the concept
22 now sensitive to? Is it to these different parameters? And
23 that, again, is why I think that viability assessment two
24 years prior to the final cut will enlighten the thought
25 process as to what truly is a sensitive issue that has to be
resolved before you can make a site recommendation.

DR. CORDING: Thank you. Pat Domenico.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

DR. DOMENICO: I never liked viability assessment.

I kind of like it now. I don't really think it's that difficult. I mean, at least part of it, in the sense that performance assessment and underground design feed that assessment, given an EPA standard somehow defined in the future, the question is what is required from this site, in combination with its engineering, to comply with this.

DR. DREYFUS: Exactly.

DR. DOMENICO: Now, this is a quantitative question that can be addressed with models, and one outcome might be we are asking far too much from this site and its engineering to be able to comply, you fail the assessment.

The other outcome could be it's, from what we know, based on current knowledge, it's possible that what we're asking from the site to comply with this EPA standard is reasonable. Then you go forward to the next stage.

I mean, it doesn't seem -- if the scientists are honest in their modeling procedure and they're using models that are faithful, then I think it's a good stop in the program and it's a good assessment, if, again like I said, if people are totally honest in terms of what is required from this site to comply with that standard, whatever it is, then, to me, it's viable if you're not requiring that much from these rocks and the engineering.

I don't know if that was a question. Maybe

there's a question in there someplace.

1
2 DR. DREYFUS: It clearly is going to be a first
3 cut in what is possible and I think in gross terms, if it is
4 clearly widely divergent from what is expected to be the
5 standard and we don't know a way to make it better, you do
6 come to a moment of truth. But I don't think you make
7 decisions on narrow misses or hits at that point, but that's
8 right. And sooner or later, you've got to make those kinds
9 of preliminary judgments and decide what do I have to do now
10 to fix it.

11 I mean, I would expect that that kind of an
12 assessment is going to have some fairly broad bounding
13 theories remaining in it. You will identify the ones that
14 have to be narrowed and you have two years to narrow them.
15 So all this is consistent with an orderly process of thought
16 and study and I don't find it illogical.

17 DR. CORDING: Other questions?

18 [No response.]

19 DR. CORDING: Thank you very much. We appreciate
20 very much your presentation and your continued participation
21 with us this morning.

22 DR. DREYFUS: Thank you.

23 DR. CORDING: I want to proceed at this point to
24 the sessions that we have established. The two areas that
25 we're going to be discussing today and tomorrow morning are
the Yucca Mountain program exploration and testing. So

1 we're focusing there on an overview of the program and also
2 then looking at the scientific aspects or the testing
3 aspects of the program, and then going on later today, at
4 3:45 p.m., I believe, we'll be beginning the discussion of
5 repository operations and continuing that through tomorrow.

6 In regard to the repository operations, there's
7 been much work being done now to prepare for the viability
8 assessment and developing a concept for repository design
9 and operation, and in that regard, I believe it's been a
10 major contribution that Dr. Dreyfus has made and the DOE
11 with the M&O to establish an expert board to assist in
12 evaluating and providing some input to the mains of actually
13 accomplishing the repository design, excavation and design.

14 I think the use of these expert boards has been a
15 very -- as I see it here, it's been very helpful in
16 providing some guidance. I think it's already leading to
17 ideas about how to make the operation and the construction
18 more efficient and cost-effective, and I really want to
19 congratulate the DOE, Dr. Dreyfus and the program for
20 supporting what is not always easy to support, difficult
21 very often to bring in the expertise, but to do that, I
22 think it's been helpful and I see that as a very useful part
23 of the program that they have established and look forward
24 to a continuation of those sorts of efforts with experts.

25 As we go on, I just wanted to make a few
administrative comments. We don't perhaps need to be as

1 close as I try to get to this microphone right now, but we
2 need to be within a foot or two of the microphone to be able
3 to be picked up on the record. They would like us to do
4 that.

5 We have requested in this program and we've set
6 aside time for questions after each talk and we want to
7 encourage our presenters to stay as much as possible within
8 the time. We are going to take the time for the questions
9 and at the same time try to keep on schedule, but we're not
10 going to let the schedule overwhelm our need to have good
11 discussions with the DOE and the presenters.

12 We will first ask for questions from the Board and
13 then staff, if time permits, will be asking for questions
14 from the floor. I want to indicate to you, as members of
15 the audience here today, participants in this program, that
16 if you are unable to ask questions of the presenters during
17 the session, we have time for your own statements or
18 questions and comments at the end of each day for a public
19 comment. So if you would, sign up in the back with Helen
20 Einersen and others of the NWTRB staff at the desk. There's
21 a sign up there so that you can sign up for public comment,
22 if you wish to make those.

23 It's important to us that we have that comment,
24 that you be able to have opportunity to do that.

25 I'd like to continue on now with the discussions
-- the presentation, rather, this morning. The topic, as I

1 said, is really the Yucca Mountain program and this is a
2 presentation that Steve Brocoum will be making. Steve is
3 now the Assistant Project Manager for License Application
4 and Site Recommendation and has responsibility for both
5 science and engineering the performance assessment and
6 construction at the mountain.

7 As I understand it, Steve, as you begin the
8 program, you will be describing a little bit of the
9 reorganization of the project office, so we look forward to
10 that.

11 I think you've arranged to have an opportunity for
12 us to break in the middle of your presentation. You're
13 going to be on for quite a while, so we'll get a chance to
14 have some discussion in the middle.

15 So, Steve, thank you and we look forward to the
16 information you'll be presenting to us.

17 MR. BROCOUM: I'm a little embarrassed. I have a
18 lot of viewgraphs here. I'm also supposed to use two
19 projectors. I'll see if I can pull that off.

20 Now, the title here is Fiscal Year '97 Activities.
21 The way the final briefing is, it's in two papers. The
22 first one is overview to license application and the second
23 one is fiscal year '96 accomplishments/fiscal year '97
24 overview.

25 It's all bound in one package in the back of the
room for the audience, double-sided, so to save some paper.

1 The main goal here is to show that we have a
2 comprehensive plan. In other words, Dan has had a series of
3 strategic off-sites over the last few years. We have done,
4 at the project, very detailed planning. We've done a long-
5 range plan that takes us from today to the license
6 applications. The program plan was updated and we did a
7 very detailed plan for fiscal year '97. I'm going to kind
8 of summarize some of that now and then in the second talk, I
9 will go more into more detailed '97 activities.

10 The planning was started last year. In fact, it
11 started, in a sense, at this meeting last October, when we,
12 some of the project people under Dan, we started
13 continuously planning to recover the program after that big
14 cutback and get back to a program that leads us to a license
15 application.

16 I have talked about all these things before.
17 We've got a better understanding of the site conditions.
18 We're working on our waste containment isolation strategy.
19 We're trying to get the regulations streamlined. We're
20 working our own regulation. The need to achieve viability
21 assessment in '98 and, of course, more Federal management of
22 the project. I'm going to try to show those things today.

23 We have worked very hard on integrating. So
24 enhanced integration, I hope that shows through as I go
25 through my presentation today. Very important.

 We have iterated back and forth between the DOE

1 management and our contractors to come up with an integrated
2 plan. We have provided the detailed guidance. It was a
3 top-down planning effort. We provided all the higher level
4 milestones. Dan and Wes Barnes bought off on those
5 milestones. We gave them to the M&O and told them to plan
6 the details.

7 So we've had very proactive DOE involvement in
8 this planning cycle. All the milestones and activities are
9 logically tied, all the precursors, in fact, are precursors
10 to successors. We hope that will come out in our
11 presentation today.

12 So we had a long-range plan. It's like the five-
13 year plan. We then did detailed '97 planning and, of
14 course, it all is consistent with all the important
15 milestones for the program plan. Our detailed plan has been
16 baselined on September 30th and it's really the first time
17 that I can recall that this program had a baseline in place
18 for the year's activities in the beginning of the year.

19 The planning people love to talk about all the
20 activities and how they tie together and so the long-range
21 plan has 2,000 activities, with 4,000 logic ties. The
22 detailed '97 plan has 5,000 activities, with about 7,000
23 logic ties. The point to an integrated plan that logically
24 fits together. That's the main point I'm trying to make.

25 Now, I have to try and use two projectors. I was
hoping there would be more room between the projectors to

stand, but there aren't. I will move on the side here.

1
2 This is a high level diagram with 60 or 65 of the
3 most important milestones. It's in your briefing, so if you
4 can't read it. I am going to use this diagram repeatedly
5 through my talk today as I talk about specific elements or
6 strategic objectives of the program. It is broken up by
7 year along the top. It has ESF and construction, core
8 science, performance assessment, engineering design, and the
9 regulatory framework, which is sub-broken down.

10 Then the light gray lines are some of the ties
11 among the activities. If you look at this diagram, just as
12 an example, that is the viability assessment, that little
13 red diamond right here, and that is fed by the license
14 application plan, the PA for the VA right here, that
15 milestone right there, the engineering design, phase one
16 design, and the cost estimate. Those are four key
17 components of the viability assessment.

18 Another diagram. This is similar to the diagram
19 in the program plan. We broke it up just a little more
20 because it was kind of easy to talk to, but it's basically a
21 diagram very similar to the program plan, where we're trying
22 to show the key activities that support the objectives --
23 and I'm not sure the audience can see this, but it's in my
24 talk. I'll put it up as high as I can here. And our long-
25 term goal of repository operations.

The key objectives are updating the regulatory

1 framework, the viability assessment, the EIS, the site
2 recommendation, the license application.

3 I'm going to talk a little bit in this talk about
4 updating the regulatory framework, the very first one,
5 because that kind of sets the framework for the program to
6 continue over the next few years.

7 We are planning to issue a proposed rule-making to
8 amend 10 CFR 960 early this fiscal year. I think it's gone
9 through the whole concurrence process at DOE. I think I'm
10 correct in that statement. I think it's been concurred in
11 by GC. So it's in the works.

12 There will be, obviously, a public comment period
13 and there will be a hearing late this year and we hope to
14 finalize this rule sometime during fiscal year '97.

15 We, of course, are very interested in the EPA
16 standard. We will be interacting with EPA once they publish
17 their draft standard. We're eagerly awaiting that and, of
18 course, that could have a lot of impact on our program, how
19 it goes. And we're equally interested, of course, in the
20 NRC as they revise their standards. All these things have
21 to happen before we do our site recommendation.

22 If one looks at history and sees how long it takes
23 to do rule-making, we are watching this very carefully.

24 When NRC begins revising their rule, we will be
25 providing our perspective to the NRC. We want to make sure
that we can have a clear understanding of the reasonable

1 assurance concept, because that leads you to how much is
2 enough. We want to make sure that there are not overly
3 prescriptive requirements. We want to clarify pre-closure
4 and post-closure requirements, especially in the area of
5 being able to use probabilistic versus deterministic
6 assessments, and there are some specific issues in various
7 sections that concern us.

8 So the NRC has not indicated as to when they will
9 revise their rule. I believe they're going to wait until
10 the EPA issues their rule.

11 Dan went over this, the four components of the
12 viability assessment. We have shown that to the Board
13 several times. The design, the TSPA, the plan cost estimate
14 for remaining work, and, of course, the overall cost to
15 operate and close the repository. We're trying to pull all
16 that together so that when we do issue the viability
17 assessment, it's all integrated, the models that we use for
18 the PA are, in fact, the models that are most current in
19 science and engineering, the design aspects we use in the VA
20 are the current design aspects. All that acts as a major
21 integration effort.

22 The NEPA process has restarted. It's a new fiscal
23 year. As you may recall, we started the NEPA process in
24 fiscal year '95 and we stopped it in fiscal year '96, and
25 we're restarting in fiscal year '97. We'll have a draft EIS
in '99 and a final EIS in the year 2000.

1 Some key activities we'll be doing to support
2 looking forward to the site recommendation. In 1999, we
3 will submit to the NRC information for them to start their
4 sufficiency of our site characterization for licensing.
5 That will be -- most of that information, in our current
6 thinking, will be captured in a project integrated safety
7 assessment, the famous PISA.

8 We will prepare the documentation that is needed.

9 Dan had a nice chart that showed all of that. NEPA clearly
10 states what that documentation needs to include. Of course,
11 if it's approved, the license application will be submitted
12 in March of 2002 on our current schedule.

13 Management efficiency. We have implemented
14 actions to be more efficient. Under the M&O, we have
15 consolidated all the laboratories, all the national labs,
16 and the M&O directs the work. We have awarded our technical
17 support contract. That award was made recently. And we
18 have reorganized and clarified the relationships between
19 headquarters and the project to be able to work more
20 efficiently.

21 The Yucca Mountain reorganization will not be
22 effective until October 26.

23 Just to show you, this is where we are today.
24 This is the current organization, with the six assistant
25 managers. I'm sure you're familiar with that, but I have it
in the package so we'd have something to compare.

1 This is our proposed new organization and this is
2 where we're moving to start operating to on October 26. A
3 major -- the four boxes up here are essentially direct
4 reports to the project manager. A major new box is project
5 control. We are elevating the role of project control.
6 That used to be part of the administration function, and
7 that's being broken out so we can improve the ability for
8 costs and schedules and planning. Planning will be improved
9 in project control.

10 The environmental, safety and health box, the
11 functions remain about the same. The administration and
12 asset management, those functions remain about the same as
13 they've been in the past, other than we've pulled out
14 project control.

15 These two boxes have new functions. The licensing
16 box will include all the activities necessary to get the
17 license application, including the VA on the way, the
18 engineering, the science, and the performance assessment.
19 All the work will be done under this box here.

20 This box here, since viability assessment is so
21 important, it's going to be of high visibility for the next
22 two years, we created a small organization to keep track of
23 viability assessment, to help get it done, to help integrate
24 across the program, and to help define the products.

25 So this is kind of a new organization that we're
moving to. I will give you some of the names now. Project

1 control will be Dick Spence; of course, chief counsel Susan
2 Rives. Oh, this is also a new box. We have now back at
3 headquarters a person that works for Wes Barnes, reports
4 directly to the project manager, who helps work the
5 interfaces between the project and headquarters, from the
6 project's perspective. That is Linda DeSell. I'm not even
7 sure she's here. I haven't seen her today.

8 Then we have the office of institutional affairs,
9 Allen Benson, who recently moved out to the project from
10 headquarters. Environmental safety and health is Wendy
11 Dixon. Viability assessment is Rick Craun. Licensing is
12 myself. Administration and asset management is Jerri Adams.

13 So for the first part of my presentation, just to
14 close on that, we're trying to focus on site
15 characteristics. We have a better understanding of site
16 performance, a better understanding of the program, license
17 application. We have a -- this is very important. We have
18 a stable framework for moving forward. We have a long-range
19 plan. We have a Congressional direction of what to do. We
20 have our detailed plans. And presumably, as we move
21 forward, we're not reinventing the program every year, which
22 is what we kind of did in the last year.

23 Now, this was my break before going to the second
24 presentation. So I could now either answer questions or
25 start into the second presentation, however you would like
to do it.

1 DR. CORDING: Why don't we take a few questions,
2 Steve, if there are some at this point and we'll then
3 continue. Jared Cohon.

4 DR. COHON: Could you put the big diagram back up?
5 The big one. Has this been -- is this analyzed using
6 something like a critical path method, that kind of thing?

7 DR. BROCOUM: There is currently a risk analysis
8 being undertaken by some consultants and I think that will
9 be reported to this new organization. That's happening
10 right now. There is an activity that Mr. Barnes has started
11 to kind of do a risk analysis of the schedule.

12 DR. COHON: Back to the diagram, I have some
13 specific questions and some of them might simply be a result
14 of difficulty in reading the copies. But some of the
15 activities, like the heater test in alcove five under
16 science, under core science, seems not ever to connect to
17 any other activity. It just goes on through this period.

18 DR. BROCOUM: Okay. This was meant to be a
19 summary diagram. In the actual detail plan, all these
20 things are connected. In fact, when we reviewed these, we
21 found some lines that were missing and to some degree,
22 there's a degree of arbitrariness on these lines. But when
23 you look at that activity, long-range or detailed plan, you
24 can look up the predecessor and the successors. So when you
25 actually look it up on your database, there are tables that
show all of that. I don't have an example, but that's

basically how the planning people do that.

1 So when you look at this, there will be, say, five
2 are connected that have to occur before you can do this and
3 then there are a bunch of activities after that depend on
4 that.

5 So in reality, on a database, that is occurring,
6 yes. A lot of effort is going into making sure that's
7 happening.

8 DR. COHON: Well, let me try to put some words in
9 your mouth then. I'll infer from what you just said that
10 every core science activity is connected in some version of
11 this to something outside of the core science block; that
12 is, to performance assessment or something else.

13 I'm not asking you to demonstrate that, but --

14 DR. BROCOUM: The key thing in integration, the
15 key thing in integration, in my view, is the process of
16 going from the scientific and engineering data to the
17 process models in each of those areas through the
18 abstraction process and in the PA. That's where that
19 integration will occur. Abe, in his talk, I think it's this
20 afternoon, will talk about that in some detail. To me, that
21 is the crux in the program of bringing together engineering,
22 design, science and PA, that abstraction process, and I
23 think Abe will describe the meetings we're having,
24 workshops, I guess they're called -- I'm looking for a yes
25 here -- workshops, thank you, Abe -- workshops that the

various people get together for the abstraction process.

1
2 I talk about that some more in my second talk, but
3 that, to me, is -- that's the one step we're doing, putting
4 a high effort into, that we haven't done as well in the
5 past, to try to bring in all of the -- to try and make a
6 connection from the data in the field, the analysis of the
7 data, the synthesis, the process models, abstraction, and
8 PA. So I consider that very important in integration.

9 I notice that Dennis is standing at a microphone,
10 so you may want to add something. Go ahead, Dennis.

11 MR. WILLIAMS: Dennis Williams, DOE. In regard to
12 that question on heater test turned on in alcove number
13 five. Now, you don't see any lines leading out from that.
14 However, if you go across the chart to the right, you will
15 see an item there, single heater test final report
16 acceptance. That's really the outcome of that heater turn-
17 on test and then you'll see the lines coming from that over
18 to things like complete TSPA sensitivity analyses for
19 license application, complete post-closure PA sensitivity
20 for license application.

21 So really the turn on of that heater test wasn't
22 the critical item. It's the report on that activity that is
23 the critical item that is tied into PA and other things out
24 there on the right of the chart.

25 DR. COHON: Thank you.

DR. CORDING: Don Langmuir.

1 DR. LANGMUIR: All of us have been watching,
2 obviously, the chlorine 36 information come in, which is --
3 I'm interested in knowing how it fits in all of this. I see
4 some closure of concepts, models, whatever, end of the
5 fiscal '97 period, under process models using SE site
6 transport models acceptance.

7 I would assume that that represents a coming to
8 closure on the uncertainties created by the chlorine 36 data
9 and tying it into the unsat zone flow models with a package
10 that gives us some confidence that we know what the
11 distribution and amounts of flow are at that point in time.

12 Is that how you view that?

13 DR. BROCOUM: It's our state of knowledge at that
14 point in time. I wouldn't say it's closure. It's update,
15 because we may have to update it in the future for the VA.
16 I mean, we don't want to come up here and say we're closing
17 and understanding everything. We just want to say to do the
18 VA, we have to back up and we work very hard in our
19 schedules to do that, you know, to integrate, to make sure
20 we get the process models updated, and that's a very
21 important thing that the science program is doing this year,
22 with their latest information, and we have time to do the
23 abstraction so it can feed the PA.

24 That has to happen. If that doesn't happen --
25 well, that has to happen to have a credible PA. That, to
me, is what's going to raise the credibility of the PA. But

1 that doesn't mean those are final models in terms of, say,
2 LA. Those are the best we can do in the time we have with
3 the data we have for our TSPA VA.

4 There's a reality here that you have to do that.
5 You have to at some point decide you're going to take that
6 information and put it in your PA. I know what the law
7 says. The latest information, September 30th, 1998, but you
8 can't do it in one day. So you have to kind of back off a
9 little.

10 Although the PA people have been very good, I'm
11 looking at Abe here, of doing runs and he's going to show
12 you some today with the latest information in just a few
13 days. So if something surprising comes in, they have the
14 ability to incorporate that in a new calculation in a
15 relatively short period of time.

16 DR. CORDING: One question regarding the workshops
17 and perhaps more of that will come out later here today.
18 But I'd be interested in hearing more about the topics that
19 you're covering, workshop topics, for example, and the type
20 of -- how you're carrying that out, what the composition is
21 of those groups and what they're really doing.

22 DR. BROCOUM: I think Abe will be covering that in
23 his talk today. So I think you'll find that interesting.

24 DR. CORDING: Okay. Leon Reiter.

25 DR. REITER: Yes. In Dan's very nice diagram,
where he sort of showed a dividing line between DOE

1 activities and then activities which involve external
2 review, there's one item that you have that didn't quite
3 appear in his, and that's the 10 CFR 960, the siting
4 guidelines.

5 Looking through the program plan, they seem to
6 indicate that siting guidelines will contain the criteria
7 for determining site suitability and you have a compliance
8 report in 1999.

9 Could you tell us how this fits in 960, in
10 compliance with 960, what this all means in the rubric of
11 progressive findings?

12 DR. BROCOUM: We do have -- the Nuclear Waste
13 Policy Act requires the DOE to have guidelines. The DOE
14 wrote 960 guidelines, I think it was in 1984. We are
15 revising them. We're trying to make them more focused on
16 total system performance assessment and overall system
17 performance.

18 The act required DOE to have guidelines. Those
19 are the guidelines that we created. We have to evaluate a
20 site under the current laws, under those guidelines. That
21 is an input that goes to the Secretary as she makes her
22 decision. That's one of the inputs she will get. She will
23 have a lot of inputs on this and this is one of them.

24 So we have to do that sometime and we, in our
25 planning, have decided to do it in '99. That's how we set
it up. So that's an internal Yucca Mountain or OCRWM

activity to do that. At some point, we have to do that.

1 That's all it is.

2 DR. REITER: So is that the internal decision on
3 site suitability? Since the guidelines -- it says the
4 guidelines are going to have site suitability criteria.

5 DR. BROCOUM: No. I don't think that's the
6 internal decision on site suitability. I think the internal
7 decision will be when we submit to Dan and Dan submits to
8 the Secretary our recommendation on what the site should be.

9 I think that will be the decision point. That's just one
10 input. So I think that's kind of a fair way to say it.

11 DR. CORDING: Bill Barnard, Board staff.

12 DR. BARNARD: Steve, at the top of that chart, you
13 show a completion of an east-west drift in 1999. Is that
14 the east-west crossing of the whole site that the Board has
15 advocated and, if so, have you decided to do that?

16 DR. BROCOUM: We have not decided what additional
17 drifting we're going to do, but we do have a placeholder and
18 we do have it budgeted for in the long-range plan. And as
19 all this work goes on in science and design and PA, we will
20 then decide what kind of additional drifting we need to do.

21 So we have it scheduled. We have funding, in a
22 sense, identified. What exactly the east-west drift is we
23 have not decided yet. I think Dan has made that pretty
24 clear several times in the past. So we have the ability to
25 do it. We don't know exactly what we're going to do yet.

DR. CORDING: Don Langmuir.

1
2 DR. LANGMUIR: I was disappointed I didn't get to
3 point that out, that Bill saw it before I did. But if
4 you're going to complete it, when are you going to start it?

5 If the intent is that if it's going to be done, it will be
6 done early in '99. How long do you envision it will take to
7 get it done and, therefore, when must you know when to start
8 it?

9 DR. BROCOUM: I think we have all that in the
10 long-range plan. I think there construction occurs
11 fundamentally in '98 and if you're going to plan for it, you
12 start the plan before that, which would be sometime in '97,
13 I believe. So I think --

14 DR. LANGMUIR: So you'll have to decide
15 definitively in '97 if you're going to do it.

16 DR. BROCOUM: I don't know if you have to decide,
17 but you have to make the plans. There's also a lot of
18 contracting issues, a lot of issues there. So I'm not sure
19 exactly when you have to decide. Dan?

20 DR. DREYFUS: Maybe I should say something on
21 that, because we anticipate, as we go forward, that we may
22 have to do additional underground exploration, substantive
23 underground exploration.

24 I'm not prepared yet to agree that that's an east-
25 west drift or that we would know where to put it if we were
going to have an east-west drift. I think we are going to

1 be getting -- well, we have a lot of information that has
2 not yet been digested from the tunnel. We have the Ghost
3 Dance Fault penetration, which we will have preliminary
4 information from very soon, at least in one alcove.

5 We are tunneling in an east-west direction outside
6 the repository formation at the moment. As you say, there
7 are some issues of the chlorine sampling and the fracturing
8 in the tunnel proper that we have not yet totally digested.

9 So we have the funding latitude in the program to
10 do underground work in the near term, if we decide that we
11 now know enough to know what to do, and we're flexible and
12 we're able to make that decision internally to the program
13 once we're confident we're making the right decision.

14 So I don't think the date is all that definitive.

15 It has to be somewhere in the plan, but I can tell you that
16 I have the flexibility to do it sooner if I know what it is
17 I'm doing.

18 I told the Commission I was not confident I knew
19 what was necessary and at this point, that's where I am.
20 Now, we may, in the next few months, come to some kind of a
21 management decision about that. But we have the
22 flexibility, we can do it and we can do it at the
23 appropriate time. We can't do it yesterday, but we can do
24 it from here on out, when we know what we're going to do.

25 DR. CORDING: One comment in that regard. I think
-- the one thing I think that's -- in the program here, one

1 looks for as much flexibility as possible and I've seen some
2 very good examples of that underground where people have
3 started to look at, for example, the moisture conditions,
4 recognizing that a lot of the things that we would like to
5 see regarding the ambient conditions are masked by
6 ventilation, for example; that people in the program are
7 thinking very seriously about that and we're going to hear
8 more about that today, I believe, as to how they can try to
9 understand that.

10 So there's been a lot of occasions in the program
11 to do that and I think there's been a lot of response to
12 what's being accomplished underground and observed
13 underground that can modify in the program.

14 Just one comment in regard to further construction
15 and tunneling. I see the -- the concern I have is what it
16 takes to get a design done or a contract, particularly if
17 it's a more -- not as standard an approach for contracting
18 or getting the procurement, for example, to do those things.

19 It would seem to me that being able to move
20 forward with some of those approaches of setting up to do it
21 and then maintaining some flexibility as to how then one
22 applies that approach, for example, more drifting, would be
23 -- it would be desirable, I think, to be able to get that
24 started, because the lead time is so great on some of these
25 procurement type contracting issues. So that's been the
concern I have as to what point do you need to start that

1 process and still perhaps maintain a flexibility as to how
2 you apply it or even if you apply it.

3 So that when you do get to the point of making a
4 decision of what you wish to do, that you have it in place.

5 I think that's the concern I've had.

6 Are we ready to proceed with the next part? Are
7 you ready to just go right on, Steve, or are we set for --
8 are we supposed to have a break here somewhere?

9 DR. BROCOUM: This was going to be the break
10 point.

11 DR. CORDING: Why don't we take a 15-minute break
12 at this point, Steve, and give you a chance also to have a
13 break. So we will reconvene at 10:20.

14 [Recess.]

15 DR. CORDING: Steve, we're ready to begin again
16 with the fiscal year '96 accomplishments and fiscal year '97
17 overview.

18 DR. BROCOUM: I need to make a couple of comments
19 here on my last talk. First of all, I did leave out an
20 important person, a new position. Susan Jones is the
21 Associate Deputy Project Manager.

22 DR. CORDING: Thank you. Steve, before you begin
23 full bore here, I just want to ask the audience to resume
24 their seats so we can listen to the presentation. So if you
25 would finish the coffee break and get back, we're ready to
begin. Thank you. You deserve to have them all sitting or

most of them sitting. Thank you.

1
2 DR. BROCOUM: A couple of -- I think I ought to
3 make a couple of comments on my first talk, since I walked
4 out and various people whispered in my ear this and that,
5 make sure I got it right.

6 I forgot to mention that Associate Deputy Project
7 Manager, Walt White has that position now in the new
8 organization. He will be retiring, I believe, in January.
9 Susan Jones will be replacing him.

10 The other correction I was told by the planning
11 people was that, in fact, the east-west drift, the
12 construction would occur all in fiscal year '99 or whatever
13 construction we do at that time in the planning. So the
14 window is in '99, not in '98, as I said. So I just want to
15 correct that. I'll leave this chart out in case I need it.

16 Okay. Second half here. This talk will talk
17 about what we did in '96, in spite of all the constraints,
18 what we plan for '97, what our key milestones are and how
19 they support the viability assessment, the EIS, the site
20 recommendation and license application.

21 I'll kind of do an overview of the activities,
22 which is the left half of this chart. That bullet here
23 refers to these kinds of activities on the left half of that
24 chart and I will try to keep my charts in sync as I go
25 through this.

What have we done in '96? We completed a

1 concurrence draft of the waste containment isolation
2 strategy. I always have a hard time with that, the WCIS,
3 and we did put out a copy, if you remember, in the July
4 meeting for the TRB.

5 We have drafted and it's in or finished
6 concurrence of 960 and it's all part of the regulatory
7 streamlining that we're hoping to have in the program. That
8 includes the EPA standard and the NRC standard.

9 We've completed excavation of the main drift.
10 We're now starting to excavate up the south ramp and we
11 completed alcove four at the base of the non-welded
12 Paintbrush Tuft.

13 We completed initial phases of the thermal test
14 facility. As Dan said, we started the test on August 26. I
15 even have a picture that shows them throwing the switch.
16 We're moving towards a full-scale test towards the end of
17 '97. The initial phase of the north Ghost Dance Fault
18 alcove is complete. We completed the advance design, I
19 think it was March of last year, the ACD. We published the
20 third total system performance assessment, TSPA-95, we had
21 '91, '93, '95. We'll have one in '98.

22 We've revised the whole program, revised the
23 program plan, and we've baselined the long-range plan in
24 July, I believe, and we baselined our detailed plan late in
25 September.

Preliminary conceptual models were produced in the

1 site area, these six models, which feed very important
2 issues in PA, and these will be updated this year as we move
3 into the abstraction process.

4 We continued field testing; for example, in alcove
5 two, we started hydrologic testing in alcove three, the
6 upper contact of the Paintbrush Tuft, lower contact, various
7 pneumatic testing in the unsaturated zone and along the
8 lower holds, along the ESF main drift in the north ramp.
9 All that was going on this year despite all the cutbacks in
10 our budget.

11 We completed processing of data, geophysics data
12 in Crater Flats and there's been some discussion with the
13 NRC on this. They've been also doing some data. We've
14 completed the surface geologic mapping and that map is in
15 review with the GS and will be published shortly. We
16 started the C well testing, the saturated zone testing,
17 using various tracers and transport through the saturated
18 zone. We've said that already. The single heater element
19 test was started and we started, in fiscal year '95 and
20 finished in early fiscal year '96, I think it was 15, I
21 believe was the number, 15 public scoping meetings for the
22 EIS. So all that was done.

23 Now what I will do is I will show a bunch of
24 pictures. Let me just get them all out and I'll just flip
25 them on the other machine here. I'll stand here. The first
picture, looking forward into the turn going up the north

1 ramp, and I guess it doesn't show too well here, so many
2 lights on, but we're looking around as we're turning into
3 the south ramp from the main drift.

4 Looking back along the main drift, so that's the
5 main drift down here, looking back. That's all completed.
6 A big event when this occurs, when the ESF actually breaks
7 through in the south portal, this is the area it will be
8 breaking through right here and they're starting to grade
9 and get ready and do whatever construction they need to do
10 for the ESF to break out.

11 The alcove for the heater test under construction,
12 various construction activities. Some more construction
13 activities. This is the Ghost Dance Fault alcove, looking
14 towards the Ghost Dance Fault in this direction. Looking
15 back out from the Ghost Dance Fault, looking back out
16 towards the main drift. I understand that's the conveyor up
17 there.

18 Here is a picture of the C well tracer. They're
19 injecting tracers into a well, which would be off to the
20 left of the slide. Nobody in this room will notice he's not
21 wearing a hard hat.

22 Here is the single element heater test, installed
23 in the hole facing east, and these are various rock load
24 cells to measure thermal mechanical stress when the heater
25 test is turned on, I guess before they turned it on. Just a
closeup of the same thing. That's a kind of a long element.

1 In some pictures, we have that, it's out and it's maybe 10
2 or 12 feet long.

3 Finally, without much fanfare, but it was done,
4 they actually threw a switch and turned it on. Our
5 understanding is that the heating up is occurring and the
6 isotherms are moving out as predicted by modeling that was
7 done before the switch was turned on, so far.

8 Last year we had \$250 million out at the project,
9 the share of the overall budget. This year we have 325.
10 The actual breakdown of the numbers along the various WBSs
11 is still being worked, so I'm not showing it on the
12 viewgraph. I would prefer not to show a viewgraph because
13 it's still not quite finalized.

14 Now, what we're going to do is go through the key
15 '97 milestones supporting VA, EIS, site recommendation and
16 LA. So first, the viability assessment. You can, on a
17 chart like this, put in the tie lines that you think feed
18 the viability assessment.

19 The key things we're trying to do in '97 are --
20 move it up a little -- develop a site description that uses
21 all of the available data and the model results. One of the
22 things we need to do is have a site description. That kind
23 of pulls all the information together from the science
24 program. Obviously, we want to provide robust site
25 engineering system process models and we are integrating
into the TSPA. We want to test the models and abstract

1 them, and Abe will be talking about that this afternoon, and
2 we want to start our peer review of the TSPA, which will be
3 ongoing all -- not only through the viability assessment,
4 but beyond the viability assessment. That peer review will
5 provide information for the TSPA, help improve the TSPA LA.

6 In the design area, we want to focus on key design
7 issues for the repository and waste package that have little
8 or no NRC precedent and that are important to overall system
9 performance. So that's where the folks in design will be.
10 Of course, we want to develop the license application plan
11 and we want to start developing the cost estimate.

12 We have to do enough design in all the elements,
13 by the way, to be able to come up with a reasonable cost
14 estimate. So even areas that have no precedent, there has
15 to be some design at some level to allow you to actually do
16 the costing; for example, the surface facilities.

17 And what this diagram here kind of shows you is in
18 the P area and in the design area, these things feed into
19 the viability assessment, as well as the license application
20 plan. Remember the four key components? The license
21 application plan, the TSPA, the design phase one, which will
22 actually be done in fiscal year '97, and the cost estimate.

23 So those are the four key components of the viability
24 assessment.

25 With regard to the EIS, just a few words on that.

We have restarted the EIS process. We have our EIS

1 contractor on board. We will develop -- we had all these
2 scoping meetings. We will develop a comment summary
3 document and we will initiate consultations with other
4 agencies for the EIS process. Again, this diagram shows you
5 designs and performance will be feeding the EIS, and those
6 are the tie lines there.

7 Site recommendation and license application. We
8 want to complete the implementation of the document for the
9 waste containment isolation strategy. I'm a little
10 uncomfortable with the word complete here. I want to
11 update. I keep thinking more in terms of update than
12 complete. We obviously want to complete the five-mile loop
13 and we want to develop an integrated tentacle engineering
14 synthesis to support site recommendation, license
15 application, EIS, as well as the VA.

16 This, again, is what we refer to as our PISA in
17 our current terminology. These are all necessary to support
18 all the issues that Dan had on his chart that are required
19 by the Nuclear Waste Policy Act. We have to describe the
20 site, we have to describe the engineered barriers and how
21 they interface. There are some requirements of the act. So
22 this is here basically to make sure we have all that
23 information.

24 So on the chart, on the right, we're showing you
25 the key -- again, in a science, in the modeling area and the
performance assessment area, in the design area, the second

1 phase of the design, which will support the license
2 application, all feeding down into the draft LA and then a
3 final LA here. So in this area.

4 So, again, we're trying to show you how it all
5 flows together.

6 If we look up more closely, in '97, what are the
7 milestones for '97, which is the year we're in right now,
8 these are some of the key milestones that we have to get
9 done this year to stay on track.

10 So obviously we have to complete the TBM
11 operations. We have to complete the Ghost Dance Fault. The
12 models have to come together and the abstraction process has
13 to occur. That's right in here. We have to complete the
14 design and so on. We're also planning to issue the final
15 960, but it's a different color because it's a higher level
16 milestone, and so on.

17 So this is basically, in a nutshell, the key
18 activities and they emphasize ESF, they emphasize design,
19 they emphasize core science and performance assessment, as
20 you can see from that chart.

21 The one major thing in regulatory, of course, is
22 the -- well, two major things. There's the 960 and the
23 license application planning, because that's one of the
24 components of the viability assessment.

25 Now, I will go through some of the more specific
activities, to which we will talk in more detail a little

1 later. The key ones I'm going to talk about are what we're
2 going to do for the waste isolation containment strategy,
3 the scientific overview. This is kind of an overview
4 presentation. People will get into more detail. Testing,
5 design and performance assessment.

6 I've got slides all over the place here. Okay.
7 The waste containment isolation strategy gives our approach
8 at the current time of how we're going to resolve post-
9 closure performance issues. As it's updated, it
10 incorporates new information and designs and realistic, more
11 realistic as we get better understanding of performance
12 predictions, and we try to also anticipate the kind of
13 regulatory changes that are coming at us. The one major one
14 we're anticipating now is some kind of a dose-based
15 standard.

16 It helped us focus our science and design work to
17 evaluate performance and it relies on the five key
18 hypotheses that we've talked to the Board starting in
19 January of '96, I believe, up in Beatty that time.

20 The highlights are just about ready to be issued
21 as a DOE document. That's what we gave out a draft of in
22 July. We've put together a -- the original waste isolation
23 strategy was written by a small team of people. We've
24 broadened the team, made it multi-disciplinary and included
25 representatives from the M&O and the USGS and all national
laboratories. There is a comprehensive draft that is now

going to go into review.

1
2 But the process of writing this, which has been
3 going on for at least a year now, has led to integration
4 within the program, because as these people work on the
5 document and as these people get involved in planning, that
6 new knowledge they get from integrating gets forced into the
7 planning.

8 So although we haven't finalized to the extent we
9 might have thought we could when we started, I think we've
10 gotten a lot of benefit out of it by the fact that people
11 have been working together and knocking heads, if you like,
12 to understand all the issues.

13 So I'm even hesitant to say we're finalizing.
14 We're just updating.

15 Obviously, the scientific program will provide the
16 process models. We have to be able to defend which process
17 we have included, which we've excluded and why. We have to
18 look at the models and compare the predictions from the
19 models with the real world observations. We have to look at
20 sensitivity and uncertainty analyses for all the parameters
21 and all the assumptions and for those that have large
22 uncertainties or have large consequences for performance, we
23 may have to get more information, and we have to make sure
24 we address alternative models that can observe those same
25 observations.

So these are the kinds of things we worry about as

we're going through this year.

1
2 In ESF, the overall goal is to understand how the
3 unsaturated zone works and how seepage into drifts may
4 occur. So we have to characterize the in situ conditions.
5 Obviously, the thermal mechanical data collection, the
6 thermal test was turned on, the first one. Somebody brought
7 that up earlier today. We have to understand the effects of
8 ESF ventilation on the evaporation and the whole issue of
9 water mass balance.

10 There have been some suggestions, although it's
11 not in the program right now, that we need to seal off an
12 alcove and observe a sealed alcove, to make sure we fully
13 understand how moisture may come into drifts, and that's
14 something we're considering.

15 Obviously, the Ghost Dance Fault, we're just about
16 there. I think they're probing right now to see exactly
17 where it is, but all the key parameters for the Ghost Dance
18 Fault have to be understood, and how it affects, again, flow
19 through the repository block.

20 A lot of discussion will occur on this, I'm sure,
21 this afternoon, but understanding the age of mineralization
22 along fractures, the various isotopes, chlorine 36 and
23 technetium 99 and iodine 129. Additional planning for
24 additional unsaturated zone transport in rocks that are very
25 much like the Calico Hills, there is activity this year to
decide how that test and where that test will be done.

1 There are three options being considered. One is in the
2 ESF, one is on the surface within the Calico Hills, and the
3 other is in an existing other tunnel on the test site. So
4 that activity will be happening this year.

5 In the surface-based -- I want to make a comment
6 here. We're talking about surface-based ESF. What we're
7 going to try to do is get away -- since we're integrating
8 our program, getting away from talking about surface-based,
9 ESF-based, or laboratory-based test. It's kind of one test
10 program. But for speaking it's just easier to categorize
11 them in those categories, but to some degree, they almost
12 seem as being competitive in past years. So one of my goals
13 is to get rid of that terminology. We have a test program
14 that addresses specific issues.

15 But anyhow, obviously, with the new standard that
16 may come out, doses to people at some distant repository, I
17 understand the saturated zone has become more important in
18 understanding the role it might have in diluting any
19 releases from the repository, very important. C well is
20 becoming very important. The monitoring I mentioned. We're
21 going to initiate the large block test on Fran Ridge.
22 That's been one of these things that's been kind of mulling
23 for years. Some of the people think it's very important to
24 understand the relationships between the hydrology and the
25 heat in the rock, where you can observe it, and understand
the boundary conditions very well. Of course, I mentioned

the fracture coating and isotope analysis.

1
2 In the laboratory, they're going to help refine
3 the zeolite stratigraphy. Zeolites may play a role in
4 retarding radionuclides and understanding that stratigraphy
5 and how it relates to the heating up of the repository,
6 which I think will be talked about this afternoon with
7 thermal loading, and not damaging the zeolites is an
8 important issue because at about 90 or 100 degrees C, the
9 zeolites could be irreversibly changed. That's an important
10 issue.

11 Absorption tests, also important, again,
12 particularly for neptunium. Finally, understanding couple
13 processes in the thermally altered zone.

14 Kind of a repeat of something I said earlier, but,
15 again, we want to concentrate on the zones that have little
16 or no regulatory precedent in the NRC and which have a big
17 potentially major impact on performance.

18 Schedule, constructability and cost, those areas.

19 Okay. We have to -- you know, a few years ago, we had a
20 multi-purpose canister. Now we have to make sure that on
21 our waste handling operations, we're not -- it's not a
22 multi-purpose canister word anymore. Again, to come up with
23 accurate cost basis, some redesign of the source facility
24 has to be done, enough to be able to get an accurate cost
25 basis and enough to address anything, again, that is
unprecedented. But the bulk of that and the bulk of the

design will be focusing on the underground.

1
2 We have to evaluate the waste package to
3 accommodate uncanistered spent fuel and look at these areas
4 here and we have to do laboratory tests on the waste package
5 material and waste forms to develop the process models which
6 feed the PA. To the extent we can develop these models,
7 just like a scientific model, these are the engineering
8 models, the data, the more robust the PA will be. And,
9 again, going from these process models and abstracting to
10 the PA is an important issue.

11 There's probably three or four orders of magnitude
12 of performance depending on how all of this comes out. If
13 you look at all the different aspects of the engineered
14 barrier, everything from back-fill to how the waste package
15 corrodes, to whether you take credit for cladding and how
16 the waste form dissolves and how it gets out of the waste
17 package. So it's a very important area.

18 In the TSPA area, we're going to put teams of site
19 people, engineering people and performance assessment people
20 to support the abstraction process. We want to make sure we
21 use current process models in the TSPA and we want to make
22 sure we understand and bound the uncertainties of the
23 process models. We want to do sensitivity analysis to
24 quantify the effects of the uncertainties, especially those
25 that have a big impact on performance, and see. Some that
have a big impact on performance, we may have to do

1 additional testing to reduce those uncertainties, or
2 additional design, depending on the parameter or assumption
3 you're talking about.

4 The TSPA will be peer reviewed by an external
5 panel of experts, mainly experts of the various processes
6 that we're worried about and experts in the various areas of
7 TSPA. That detailed planning has gone and the work will
8 start early this year. This year basically is an
9 orientation to make them familiar with TSPA and all the
10 process models and all the information flowing in.

11 Basically, though, the overall objective of the
12 peer review is to provide recommendations for, in a sense,
13 the one that's very important for the LA, the TSPA for LA.
14 When you look at our schedules, the peer review will not be
15 done in time for VA, but it certainly will be done in time
16 for the next iteration of the PA for the LA.

17 So in a sense, by the end of 1997, we will have
18 updated, not finished, updated our waste containment
19 isolation strategy. We hope the final rule will be issued.

20 That's not under our total control. We need to get, for
21 example, concurrence from the NRC. Concurrence on the
22 original rule in 1984 took nine months.

23 We will have completed the south ramp, TBM will
24 have exited and the loop will be done and all the currently
25 planned tested alcoves will be complete. We will have
updated all the unsaturated and saturated and transport

1 models. We'll have them updated for the TSPA VA. The
2 probablistic seismic hazard assessment, which is just
3 starting now, will be well underway. That is scheduled to
4 be completed in January and that information will be feeding
5 the design and, again, most of the design for the license
6 application, and the first phase of the design for the VA
7 will be completed.

8 We will hope to have the waste package material
9 and the waste form degradation models, as I said earlier,
10 very important because of the many orders of magnitude,
11 about four or so. The TSPA panel will have been oriented to
12 understand our process. They will have completed the site
13 and the design process model abstraction workshops that Abe
14 will talk about and scenario development will have started.

15 Of course, the NEPA process will be underway and we will
16 have completed the license application plan. The reason I
17 have essentially there, that is due to us from the M&O on
18 October 1st of '98. So it's next fiscal year, but
19 essentially done.

20 I think we have a very interesting meeting for you
21 because we're talking about very current activities and very
22 current issues. We're going to be talking about the
23 unsaturated zone processes and the models, the new
24 information that's flowing in. One of the things that comes
25 to mind to me is something that Dr. Cording said probably
maybe two years ago, and that was once you get underground,

1 you're going to get a vast amount of new information coming
2 in. I still almost remember the day he said that.

3 That's what's happened to us. A lot of new
4 information is coming in right now and we're sorting through
5 it, working through it. So this is all work in progress and
6 there are potential new alternative models coming out, but
7 we're kind of -- I don't want to say overwhelmed, but we're
8 -- lots of information coming in, is kind of a fair way to
9 say it.

10 What I wanted to do here, and I wasn't successful,
11 is I wanted to show all the process models, all the
12 abstracted models, and the key performance assessment
13 models, and I wanted to show them and say, now, look, we've
14 talked about this, this and this today and next time we'll
15 talk about this and this. By the time we go for like a
16 year, we'll have talked about everything that feeds the PA,
17 and that's still my goal is to be able, as we meet every
18 quarter with you, to go through the whole picture.

19 The reason we don't have the models here is
20 there's not total agreement exactly what the models are, and
21 so we have to clarify that among ourselves before we can
22 present it to you.

23 Then, of course, after we get done -- let me go
24 back a second here. I didn't make a point here. I'll go
25 back here a second.

So after Dennis Williams and Bo Bodvarsson finish

1 talking about the hydrology in the sands, we will then move
2 into Abe Van Luik, who will give us some results of
3 sensitivity analysis TSPA has run, showing you what impact
4 this new information has; again, very current. Then he will
5 also talk about that abstraction process which we think is
6 so important in integrating the program and he will also
7 talk about expert elicitation, a few other issues that the
8 staff said the Board was interested in. So that will all be
9 in those talks.

10 On the engineering side, we're going to be talking
11 about the concept of operations and I think Jack Bailey is
12 doing that. We will be talking about the design status of
13 the waste package and the emplacement drifts and Hugh
14 Benton, of course, is doing that. Feasibility of technology
15 and viability assessment and stability of the drifts will be
16 talked by Alden Segrest, and repository thermal management
17 will be talked by Dick Snell, and that's kind of the program
18 for two days. Again, all very current topics as we move
19 into this phase of the program of completing the viability
20 assessment.

21 Thank you.

22 DR. CORDING: Thank you very much. We are looking
23 forward to the remainder of the program, as you've been
24 laying it out here, to see how these things are coming
25 together and how you're looking at this extensive amount of
information you're obtaining and evaluating.

1 We'll go to questions now for Steve. Don
2 Langmuir.

3 DR. LANGMUIR: Steve, the sense I'm getting is
4 that the TSPA provides the guts for the waste containment
5 isolation strategy. Is this the way you view it? That
6 provides the prioritization you need in order to decide how
7 to focus in the strategy on different features of it.

8 DR. BROCOUM: It's a very important component.

9 DR. LANGMUIR: So it's the same people,
10 presumably, involved in both activities, to an extent.

11 DR. BROCOUM: Yes, but it's an integration. We're
12 trying to integrate between science, PA, and engineering. I
13 don't want to say just PA, because it has to be that -- the
14 PA won't mean much if the scientists get up and say my data
15 wasn't used or wasn't used properly.

16 I mean, the goal, what we want here is the
17 scientists and the engineers, when we're done, is to be able
18 to say I participated, I understand how my data was used and
19 my data or designs, whatever, were used correctly. That's
20 kind of the goal, what we want, and give the robustness to
21 the PA beyond just the numbers. So we want -- that's our
22 goal, what we're getting, that's what we're working very
23 hard on doing.

24 DR. LANGMUIR: So essentially you've got an
25 internal committee of those who are involved in the process
or reviewing it to see if they like or can agree with the

conclusions.

1 That brings me to another question, which is I
2 presume you've constituted or are close to constituting your
3 expert exterior group that are going to evaluate this
4 process. I'm wondering how you've done that, how you've
5 picked them, and who they might be, if you know yet.

6 DR. BROCOUM: Abe is going to address that in his
7 talk. Basically, we're going to send letters, I believe, to
8 various scientific organizations asking for recommendations.

9 We will pick from those based on their background and
10 experience, but manage it within the program. There will be
11 experts outside, but they'll be managed within the program.

12 We're not going to go to another agency to pick the experts
13 for us and do the peer review.

14 I think Abe will talk to that in a little more
15 detail. I don't want to steal too much of his thunder.

16 DR. CORDING: Jared Cohon.

17 DR. COHON: Following up this question about peer
18 view, though Abe will talk about it, from the bigger
19 perspective. You said that the peer review of TSPA VA is
20 really intended to support or to be used, the results of
21 which will be used for TSPA LA and, in fact, the timing of
22 the peer review is such that it can only be used for LA,
23 because it's going to come really after the viability
24 assessment milestone, in effect.

25 DR. BROCOUM: Again, when you -- I should not be

absolute when I say these things. Okay.

1
2 DR. COHON: I understand. Timing is fuzzy and I
3 understand that. But it leads to the question of what is
4 intended in terms of review of the assessment itself, that
5 is the viability assessment. Is there -- is that reviewable
6 and do you intend to get it reviewed? I'm not talking about
7 the TSPA --

8 DR. BROCOUM: I see what you're saying.

9 DR. COHON: -- VA itself, but rather your
10 viability assessment determination. Is that going to be
11 subject to review and comment?

12 DR. BROCOUM: As we envision the viability
13 assessment, it will be a relatively -- do you want to say
14 it? Do you want to talk, Dan? You're looking at me, so
15 maybe I should defer to you.

16 DR. DREYFUS: The simple answer is no. The plan
17 is what it says in the statute, pile up the documents and
18 submit them to the President and the Congress, and, of
19 course, the public will have them.

20 DR. BROCOUM: There is, if I can find it on here,
21 there is a letter report, I think it's on this chart, I've
22 seen it, PA. There it is. That letter report is from the
23 peer review group giving us kind of a status at that time.
24 So there will be some input from the peer review group in
25 time for VA. So that's right here. But the peer review is
not completed till fiscal year '99 in our current schedule.

1 DR. DREYFUS: Basically, the peer reviewers of the
2 performance assessment will be making recommendations about
3 the final performance assessment after the VA goes out.
4 They will be in full cry, of course, when the VA goes out
5 and may make a commentary on what they think about the
6 performance assessment that's in the VA, informal letter or
7 remarks about their review of that process.

8 But the VA itself is more than a performance
9 assessment and the way that works is we make those documents
10 public. I'm sure there will be considerable comment,
11 discussion and introspective contemplation of them, but not
12 in the program after they're out.

13 DR. CORDING: Don Langmuir.

14 DR. LANGMUIR: Steve, a more specific question to
15 details here, but of interest to me. On 33, page 33 of the
16 overheads, you make the statement -- the statement is made
17 that process models supporting TSPA VA with regard to waste
18 package material and waste form degradation will be
19 completed. I presume you don't mean actually completed in
20 the sense that you fully understand what's going on yet, but
21 that it's the status.

22 DR. BROCOUM: That went through my mind as I saw
23 that viewgraph. Updated.

24 DR. LANGMUIR: Updated, not completed. I'm
25 learning.

DR. BROCOUM: Right.

1 DR. LANGMUIR: It's updated.

2 DR. BROCOUM: Updated is the kind of word we like
3 to use, because they're going to be updated again for the
4 TSPA LA.

5 DR. LANGMUIR: Otherwise, I was going to say, how
6 are you going to get all your --

7 DR. BROCOUM: Performance confirmation.

8 DR. LANGMUIR: How would you get all your results
9 from the corrosion tests in the next 12 months or so when
10 they just started sort of thing.

11 DR. BROCOUM: That's correct. A lot of work.

12 DR. CORDING: Jeffrey Wong.

13 DR. WONG: Steve, I'm looking at one of these
14 charts, the one with the Big Dipper on it. I still don't
15 understand the peer review. You're doing peer review. It
16 looks like your OCRWM will make the -- or accept the
17 viability assessment without peer view and then you do
18 complete peer review before you complete the sensitivity
19 analysis of the PA.

20 I wanted to know why you would stop peer review,
21 not include peer review as you move into the sensitivity
22 analysis, why you would not have peer review for that
23 section also.

24 DR. BROCOUM: I'm going to turn it to Abe on that
25 one, or do you want to wait till you're on later? He wants
to wait till he's on later. This is how we have the

1 schedule today. What I think we'll do -- I'm not sure what
2 we're going to do way out in the year 2000 right now. So if
3 that requires -- but, again, we don't want to be in a
4 position, like Dan said, of doing a peer review that comes
5 out -- we want the information and time to do a good TSPA
6 LA, that's what we want, so we can improve the PA.

7 That's our goal. So that's kind of how the
8 schedule is. But remember, all of this will get extensive
9 review in the licensing process. If we get that far, every
10 single assumption in the PA will -- the parameter will get
11 extensive review.

12 So once you get into the licensing process with
13 the NRC, it's going to be a very public and, you know,
14 question and answer and all that. So I think it's going to
15 -- it will be essentially peer reviewed, whether we have it
16 on this chart or not, I guess is what I'm saying.

17 DR. CORDING: What do you see with regard to -- at
18 the time of viability assessment, with regard to the
19 statement about the plans continue to license application.
20 For example, at that point, will the documents also include
21 a description of the work that you will be carrying out to
22 the license application?

23 DR. BROCOUM: Yes. I think one of Dan's important
24 points is that the license application plan, which is right
25 here, includes all the work necessary to get to the LA and
the costs associated with it. So at that point in time,

1 people understand what they're buying into, if they're
2 buying into it.

3 DR. CORDING: Don Langmuir.

4 DR. LANGMUIR: Steve, one of the big concerns of
5 the Board and of me personally has been and still is how are
6 you going to learn what you need to know about couple
7 processes regarding the flow of fluids when you put a
8 repository in there. Of course, you've got the heater test
9 scheduled, with the rest to alcove five just starting right
10 now, I guess, and then the large block test about to start,
11 and then I see the drift scale test is scheduled for October
12 '97.

13 My sense, if I'm right, is that the heater test in
14 alcove five is strictly a study of the transfer of heat.
15 It's a mechanical test. There will be no intention or
16 effort made to measure fluid flow or couple processes in
17 that heater test five, right?

18 DR. BROCOUM: That's my understanding, but the
19 large block test, I think, does look at --

20 DR. LANGMUIR: The large block test --

21 DR. BROCOUM: They're shaking their heads here.
22 Hold on a second. Dennis.

23 DR. CORDING: Dennis Williams.

24 MR. WILLIAMS: Dennis Williams, DOE. With regard
25 to that single element thermal test, we do have a moisture
monitoring component in that single element heater test. So

1 we are -- it has mechanical elements that we are looking at,
2 but it also has hydrologic elements that we are looking at.

3 DR. LANGMUIR: Okay. So you'll be looking at
4 fluid vaporization and transport away from the heater.

5 MR. WILLIAMS: That's correct.

6 DR. LANGMUIR: But it's not designed to look at
7 the couple processes that might result from that, right?
8 The precipitation dissolution, sealing of transport
9 pathways, that sort of thing. You can't look at that in
10 that heater test.

11 MR. WILLIAMS: We probably won't get deeply into
12 the couple -- those type of coupled processes on that test
13 because of the size and the type of instrumentation that we
14 have associated with it, but it would be the beginnings of
15 an understanding of those types of things that then we would
16 carry on the drift scale.

17 DR. LANGMUIR: What about the large block, though?
18 I mean, that, I assume, from what I've been told, was
19 intended to give you a sense of -- an ability to measure on
20 the periphery of the block or into it couple processes.

21 MR. WILLIAMS: One of the advantages we see on the
22 large block is to be able to introduce water; first off,
23 drive the water off, reintroduce water into it, look at some
24 of the chemical changes in that block, because after it's
25 done, we will actually tear that block down. Of course, the
large block gave us the advantage of having all the surfaces

1 exposed such that we could really understand what was going
2 on in that piece of rock.

3 So, again, that, too, will give us some beginnings
4 of an understanding of some coupled processes, but the drift
5 scale is the one that's probably going to roll a lot of that
6 information together into the best test for coupled
7 processes that we can do on a reasonable scale in the
8 mountain at this time.

9 DR. LANGMUIR: Okay.

10 DR. CORDING: Steve, you've commented on the
11 investigations to look at the absorption and the zeolites
12 and the effect of temperature on the zeolites. At present,
13 do you have a feeling for the type of credit that might be
14 taken for the zeolites in the isolation strategy?

15 DR. BROCOUM: As I understand it, depending on the
16 model of flow for the water, in some models, the zeolites
17 are important because in some models the water gets diverted
18 around the zeolites and they are not important. So
19 depending on how -- which conceptual models we have to
20 consider, zeolites can be either important because the water
21 flows through them and, therefore, there's retardation and
22 in some of them water is diverted in some of these new
23 models, and I understand that's happening and, therefore,
24 the zeolites would not be that important.

25 I think it depends on how the modeling and the
understanding of hydrology comes out basically. But I think

1 we have to cover all our bases and we cannot ignore them and
2 I think that's what we're trying to do.

3 DR. CORDING: Right. Do you have any other
4 information you might give us or some thoughts on -- you're
5 talking about the further work on the unsaturated zone, non-
6 welded Calico Hills or ESF, tunnel up the MTS. You
7 mentioned that.

8 DR. BROCOUM: I'll just talk philosophically.
9 It's important to understand not only how the percolation
10 flushes the mountain, but whether actual drops come out,
11 fluid comes into the drifts themselves, and I think a lot of
12 the work is going to be in those areas.

13 So those two areas are interrelated and so as we
14 get a better understanding of the hydrology through the
15 mountain, the unsaturated zone, that will determine what
16 additional work we've got to do. Dennis, I know, is walking
17 to the mic, so I'll turn it over to Dennis.

18 MR. WILLIAMS: Dennis Williams, DOE, again. I
19 think what Steve was referring to in the other tunnels on
20 the test site, we've had a demonstration of applicability of
21 a laboratory test which has to do with the UZ transport
22 model, which has been in the plan for quite some time.
23 Obviously, the best place to do that would be in the Calico
24 Hills, but we don't have any present plans to go to the in
25 situ Calico Hills in the repository area.

So we have looked at the possibility of using

1 similar types of rock formations up in P tunnel on the test
2 site. In addition, we have looked at a possibility of doing
3 similar types of or tests in similar types of rock in alcove
4 three of the ESF and we are also looking at the possibility
5 of going out on the surface at an exposure of the Calico
6 Hills.

7 We do have in the '97 plan funding to basically
8 look at all these three options and try to come up with the
9 best place to do this type of test, if this type of testing
10 is warranted.

11 DR. CORDING: And the test itself would be --
12 you'd be looking at some tests like the permeability
13 characteristics, some actual transport mechanisms. What do
14 you see for the type of thing you would investigate with
15 that?

16 MR. WILLIAMS: One of the things you'd really be
17 looking at is the heterogeneities of that particular rock
18 mass and the transport of radionuclides through that rock
19 mass.

20 Now, this would be not an extremely large scale
21 test, but I would envision this test would be something on
22 the scale of several cubic meters.

23 DR. CORDING: I see.

24 MR. WILLIAMS: But, again, that's part of what the
25 -- that's part of our -- and I think it was something like
230 K that we put into the program this year just to look at

1 those -- the details of that plan, how we could possibly
2 best field that particular test.

3 DR. CORDING: So you're basically looking for non-
4 welded tuft, which is relatively massive and --

5 MR. WILLIAMS: That's correct.

6 DR. CORDING: -- not heavily fractured.

7 MR. WILLIAMS: And we know that the P tunnel isn't
8 exactly the same. We know that alcove three isn't exactly
9 the same. But we're looking for something that may serve as
10 a suitable surrogate for that kind of testing, because to
11 date, we're not down at the Calico Hills below the
12 repository block.

13 DR. CORDING: Okay. Thank you. Pat Domenico.

14 DR. DOMENICO: When the process model is out -- I
15 guess I've been making some noise for a few years now about
16 one process where I thought it was a very good idea to get a
17 peer review from experimental petrologists, mineralogists,
18 as well as theoretical high temperature people in that field
19 who have experience in geothermal regions, to take a look at
20 that mineralogy and come to some peer review in terms of
21 what they might anticipate based on what they've seen
22 elsewhere.

23 I've never seen anything come out of the program
24 in this area. Of course, you're going to make some
25 observations with the experiments, but these are short-term
effects compared to, I think, what knowledge some very good

1 theoretical mineralogists and petrologists of high
2 temperature can at least speculate.

3 Given that mineralogy, what might be the overall
4 effects of the thermal load? Is that one of the process
5 model peer review that has been considered or not?

6 DR. BROCOUM: I don't think we have explicit peer
7 review in that area. We do look at natural analogues and if
8 there is a natural analog -- I mean, we've approached it
9 that way in the past. I don't know. Does anybody want to
10 -- I'm not aware of a peer review that specifically goes to
11 what you were just asking for right now.

12 DR. LANGMUIR: Ed, can I comment on that? We have
13 had Board meetings where we have looked at geothermal
14 analogues as an aspect of our concerns on the site and we've
15 had people from that community of Pat's discussing what they
16 think might happen with the thermal load.

17 Of course, the program itself, with Los Alamos
18 people involved, Dave Bish and a number of others have
19 looked at Yucca Mountain itself as its own analog because of
20 the effects of heat from intrusions at Yucca Mountain in the
21 past, which they can look at those effects and how they've
22 influenced the transport of fluids and the precipitation of
23 minerals. That's probably the best analog we've got is
24 looking at those past performances of Yucca Mountain, which
25 have been studied in some detail. That's the best evidence
we've got of what would happen with the repository, I think.

1 DR. DOMENICO: So you're dismissing my concerns
just like that.

2 DR. LANGMUIR: I think those people who are
3 experts in that, both in and outside the program, should be
4 involved in reviewing the program later on here.

5 DR. BROCOUM: Abe, do you want to say something?

6 DR. CORDING: Yes. Abe was going to the mic.

7 DR. VAN LUIK: Abe Van Luik, DOE. I was going to
8 make a comment much along the lines of Don Langmuir, that we
9 do have that expertise in-house and that one of our
10 geothermal champions is Bo Bodvarsson, who is going to speak
11 to us early this afternoon.

12 We have not explicitly identified the particular
13 concerns that you were talking about as part of the peer
14 review, but they will obviously be covered as part of the
15 coverage of the important processes that we plan to put into
16 the TSPA VA.

17 DR. CORDING: Thank you. Questions from staff?
18 Sherwood Chu.

19 DR. CHU: I have a question on the EIS in your
20 chart. It was hard to tell from the chart about the project
21 topics as to where the issue of transportation of all of the
22 waste would come into the NEPA process. Is the EIS work
23 addressing only the repository side and the transportation
24 issues will be addressed elsewhere?

25 DR. BROCOUM: I believe the routes to the

1 repository will also be addressed in the EIS. Wendy has
2 mentioned that. The details you have to go to Wendy for,
3 but yes.

4 DR. CHU: Okay. So that EIS that you were showing
5 is a program EIS rather than the project EIS, is that right?

6 DR. BROCOUM: I don't know.

7 DR. DREYFUS: That EIS for the repository
8 encompasses most of the impacts, but it does -- and under
9 the Nuclear Waste Policy Act, it is provided that that's the
10 EIS. There are some constraints on what need not be looked
11 at. Now, there is contemplated also in that body that if it
12 was an interim storage facility, it would also have an EIS.

13 So depending on how this thing plays out, when the
14 transportation takes place, I am not sure we have a
15 definitive answer to what the NEPA documentation would be.
16 We're anticipating looking at the generic issues of
17 transportation in the repository EIS.

18 DR. CHU: And that would be part of that. Thank
19 you.

20 DR. BROCOUM: There is an activity in the
21 engineering area to look at potential routes in Nevada and
22 to narrow them so that -- you know, in terms of less -- you
23 know, the narrower you can make the potential routes, the
24 less the impacts and the less you have to look at various
25 impacts. So we're doing that for Wendy. That activity is
being done for Wendy this year. So there is that activity

in the engineering.

1 DR. CORDING: Other Board staff comments?
2 Questions? Don.

3 DR. LANGMUIR: Don Langmuir. This is actually not
4 my question, but one that John -- John Cantlon doesn't like
5 to leave us without having something to say, so he's got
6 like a memo with some possible questions to ask, and this
7 one kind of intrigued me.

8 He pointed out that the five-mile safety envelope
9 around the repository, why is it a sphere, why don't we make
10 it elongated in the direction of groundwater flow and
11 shorter, up gradient in the groundwater flow direction. Why
12 don't we concern ourselves instead with the real direction
13 that waste might take radionuclides and the distance rather
14 than making it an envelope that's uniform?

15 DR. BROCOUM: In a sense, that will happen in the
16 EPA standard, where they -- how they construct the standard.

17 That is to the south, say, in the Valley Farm area, the
18 envelope will be an elongated envelope, if you like, towards
19 the south. So that's one of our concerns and the EPA is
20 considering how and where that would be. So in the
21 calculations that we do, we assume various distances to the
22 south, and Abe will have some calculations to show you later
23 and the various distances.

24 But in a sense, if it's more than five kilometers,
25 then it will not be a sphere anymore, just as you suggested.

1 DR. LANGMUIR: Maybe it ought to be a time sphere,
2 time of arrival sphere rather than a distance.

3 DR. CORDING: Questions from the audience?

4 [No response.]

5 DR. CORDING: In looking back on the fiscal year
6 '96 with a reduced budget and all, to what extent are there
7 items that you -- were you able to accomplish really what
8 you wanted in '96 or what in part of that original '96
9 program have you deferred? I think we've had some
10 discussion of that, but could you give me another statement
11 on that or summary of what you're still working on or what
12 you accomplished?

13 DR. BROCOUM: We stopped the suitability process
14 that we had created, which was a very public step-by-step
15 process for '96, that process stopped. We cut in half our
16 interactions with the NRC and cut back a lot of the
17 licensing work, in a sense, thinking ahead to the, say,
18 license application.

19 Those areas were severely impacted last year. The
20 suitability process has been replaced by another process. I
21 think we would have liked to have more interactions. As
22 we're going into this viability assessment, we want to make
23 sure the NRC understands what we're doing and support us in
24 a positive way when they're asked what they think.

25 So I think we need to have those interactions with
the NRC. So in a sense, we lost a little bit, but we did as

1 best we could under the constraints we had. So I feel we
2 did a pretty good job last year. That's why I tried to show
3 you the accomplishments of '96; not only doing things, but
4 actually coming up with a new plan.

5 But we did have to cut back our NRC interactions,
6 that was mandated, in a sense, so we did.

7 DR. CORDING: In terms of testing, you had to
8 tighten up on some of the programs.

9 DR. BROCOUM: Yes. Dennis is standing there ready
10 to help.

11 MR. WILLIAMS: Dennis Williams, DOE. Scientific
12 programs, '96 started out to be a disaster for us. The 250
13 declining basically caused us to get into a mode of trying
14 to capture all the information that we could, but shutting
15 it down.

16 As things turned around and with an influx of some
17 funding in some key areas, that led to a lot of our fracture
18 coating data, led to a lot of the chlorine 36 information
19 that we're getting, and at the renewed drive toward license
20 application, I feel that we turned the scientific program
21 around in '96.

22 We did have major cutbacks in like our service
23 drilling program, but we were able to keep going with the C
24 wells testing, which is in the saturated zone. We basically
25 dropped the large block test out, but I think, as you've
heard in the discussions, we've got the large block test

1 back in now. We cut out a lot of our climate program in
2 '96. We've got it back in now. In fact, we ought to be
3 able to wrap the climate program up in '97.

4 So we took quite a hit and it was quite traumatic
5 for a few months, but, again, with some funding that the
6 director provided back directly into scientific programs and
7 what we were able to do getting back on track to license
8 application, I was, frankly, very pleased with the outcomes
9 of the '96 program.

10 I think you will see some of the pieces of data
11 that are coming out of '96 that we'll talk about later this
12 afternoon.

13 DR. CORDING: Thank you very much. We're looking
14 forward to that.

15 DR. BROCOUM: One more comment. The ACNW comes
16 out and has a meeting once a year in the Las Vegas area.
17 This year they had it in September and it was a very
18 interesting meeting, lots of discussion, some of the same
19 issues we'll be discussing today.

20 Last year, we were not able to support that
21 meeting and I don't think the ACNW had that meeting in Las
22 Vegas. That happened right after we got the budget cutbacks
23 in September. So we weren't able to support that, but this
24 year we were.

25 DR. CORDING: Well, we thank you very much, Steve.
We're going to take our lunch break now and we are about 15

1 minutes even more ahead of schedule. So if you would, let's
2 utilize this time in the afternoon. We'll take a few extra
3 minutes for lunch, but if we could come back early, at 12:45
4 instead of 1:00 p.m., to begin the afternoon session, I
5 think that will give us more time in the afternoon period.

6 So 12:45 to resume instead of 1:00. Thank you
7 very much.

8 [Whereupon, at 11:27 a.m., the meeting was
9 recessed for lunch, to reconvene at 12:45 p.m. this same
10 day.]

11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

AFTERNOON SESSION

[12:47 p.m.]

1
2
3 DR. CORDING: Our afternoon session is starting.
4 The first presentation is on conceptual model of flow in the
5 unsaturated zone, new insights. The presenter is Dennis
6 Williams. He is Deputy Assistant Manager for Scientific
7 Programs at the project office. I think he'll be also
8 introducing Bo Bodvarsson, staff scientist from Lawrence
9 Berkeley Lab, who will be participating in the presentation
10 with him.

11 Dennis?

12 MR. WILLIAMS: From this morning, if visuals are
13 the crutch of the incomprehensible or whatever the word was,
14 get ready for the Tower of Babel, because there's a lot of
15 visuals in this next presentation.

16 This will be a presentation that's a little bit of
17 a presentation within a presentation. We do have Bo who
18 will come up and talk about some of the details of the
19 unsaturated zone flow model. He's basically the guru of
20 that particular exercise, so I will let him discuss that.

21 Here is an outline of our presentation, and I
22 wanted to make some introductory comments with regard to
23 that. Of course, I'll do the introduction, get into the
24 conceptual model of the UZ, the Montazer and Wilson, some of
25 the data collection activities that have been ongoing, and
Steve pointed out -- he didn't want to say that we were

1 overwhelmed by all the data coming in, but I can let you
2 know that we're pretty close to being overwhelmed by all the
3 data that's coming in.

4 Of course, Bo will come in on the data
5 interpretation and the modeling. I'll go back to the podium
6 for implications of the alternative conceptual model, which
7 basically is our handoff to PA, talk about some
8 uncertainties, plans for future work, and some conclusions.

9 But what I wanted you to know is that the
10 presentation today will cover a very broad area, starting
11 with a review of some of this field data that provides the
12 input in the zone flow model. Much of this information was
13 presented in the July meeting of this Board in Denver, so I
14 will largely summarize it and put it into a setting for
15 discussion in what we call the evolving or the alternative
16 unsaturated zone flow model.

17 We've had a lot of discussion about whether this
18 is a new model, whether it's an evolving model, whether it's
19 an alternative model, and, very frankly, I would prefer not
20 to get too involved in those semantic discussions. We've
21 got a lot of information coming in. I use the simple term
22 evolving to mean it's changing with time. That's basically
23 the way I view it.

24 Bo will present how this data is incorporated into
25 that unsaturated zone flow model and, of course, as I said,
following that portion of the presentation, I'll return and

1 discuss the implications, which is our handoff to PA,
2 uncertainties, and some of the planning that we're doing
3 into the next fiscal year.

4 While some aspects of the integration of the data
5 from the field to the laboratory into the flow model will be
6 obvious, the larger picture of an evolution of an entire
7 integrated process of field and laboratory data flowing into
8 a model, flowing into performance assessment, and then into
9 the development of follow-up work, such as we have in '97
10 and out years, should not be overlooked.

11 Perhaps a few comments on percolation flux. This
12 is from the Dennis Williams perspective on percolation flux.

13 We'll talk about it a lot in these next presentations.
14 What I want to make sure that everybody understands is that
15 there is no direct measure of percolation flux. There are a
16 lot of indicators. There's no meters to measure that. It's
17 not like breaking concrete cylinders, which I did in my
18 past. You have a calibrated machine to break the cylinder,
19 you have an ASTM standard that tells you how to do it.

20 We don't have these types of things with the
21 percolation flux. So you get a lot of indicators. These
22 indicators kind of spread across the board, but I don't
23 think any of us should go away today thinking that we are
24 dealing with absolutes on percolation flux.

25 With that, I would like to review a little bit the
Montazer and Wilson model from 1984. That was in the SCP.

1 We have it in our highlights of the waste isolation and
2 containment strategy. It's been with us for a long time.
3 There's a lot of things about it that were involved in its
4 development. It probably didn't have a great deal of data,
5 but it probably had a lot more geologic intuition that went
6 into it.

7 Some of the key points. It had infiltration.
8 Because of the presence of the PTN, it was thought that
9 there would be lateral diversion; major faults running
10 through it which would be conduits to lower portions of the
11 rock mass; relatively dry in what would be the potential
12 repository horizon; a water table way down below; and, some
13 perched water.

14 Infiltration in these early years was considered
15 to be somewhere between zero and five millimeters per year.

16 As we got into collecting more data, it started to tell us
17 that, hey, maybe there was some substance to this model
18 because we could tell from looking at the rock mass up here
19 it was fractured; obviously, it's going to have some kind of
20 an infiltration flux in it.

21 When we got down here to the PTN with some of our
22 bore holes, we started picking up saturations. We could see
23 higher saturations along the upper surface of the PTN. We
24 drilled down into this area, it was relatively dry. So some
25 of those things were telling us, hey, maybe this model is
really what it's all about.

1 So then the basic question becomes what other data
2 do you collect to test this model and how do you refine it
3 as you move forward in time.

4 That brings us to this cartoon that looks similar
5 to the conceptual model cartoon of Montazer and Wilson. It
6 has some of the same components, same rock types. We have
7 the Tiva up on top, we have the PTN, we have the Topopah
8 Springs level, we have the Calico Hills. This is basically
9 to demonstrate where some of the data is coming from and
10 what is really influencing our thoughts on this particular
11 development of a concept of the mountain today.

12 We still have the infiltration. I'll talk a
13 little bit about some of Allen's stuff on the temporal or
14 the spacial distribution of the infiltration. We've got
15 more bore holes into the mountain now, more holes that we
16 can get temperature profiles out of. We actually have bore
17 holes through the Ghost Dance Fault. We can get pneumatic
18 information. We can get gas pressure information out of
19 these holes.

20 We go down deep and we can see saturation water
21 potential from our various core data. We're starting to
22 look at the faults that we've gone across, but the big thing
23 that is leading us to this development, this evolution of
24 our understanding, is probably the ESF.

25 Two things that I feel are really important to the
development of that understanding are we've been able to

1 look at the delicate fractures for the fracture coatings,
2 the Peterman & Paces of the GAS/DOF, and we'll talk more
3 about that a little bit later.

4 In addition, we're starting to see the chlorine 36
5 bomb pulse coming into the mountain, and we'll talk about
6 that quite a lot as we go through the rest of the
7 presentation.

8 Briefly, some of the data pieces. The
9 infiltration map from Alan Flint. The spacial distribution.

10 Here we have the layout of the site area. You can see the
11 ESF sit on here for reference, some referenceable bore holes
12 on that, and our scale of infiltration varying from values
13 approaching zero up to 15 millimeters per year in the upper
14 corner, northwest corner of the site.

15 We see a lot of the higher infiltrations
16 associated with the crest. That's probably because we have
17 higher precipitation there. The average for the whole area,
18 I think he calculates something like 4.5 millimeters per
19 year. That's an average that's really not relevant to a
20 large extent because more importantly is the matter of
21 taking this actual data and feeding it into the modeling.
22 So we know what's going on at depth in these particular
23 areas.

24 The pneumatics. The pneumatic diffusion in the
25 mountain at the repository horizon, we see conductivity
along some of the major structures that we have known about

1 for some time, the Bow Ridge Fault, the Drillhole Wash
2 Fault, the Ghost Dance Fault. This is probably the first
3 time I have ever seen the Dune Wash Fault behaving in this
4 manner.

5 We've had the Dune Wash down to the south. We've
6 had a bit of the Embercut Fault zone through here, we've had
7 little bits and pieces of it, but now it's starting to look
8 like we've got some continuity along that particular
9 structure. This has been real important for Bo's work on
10 the UZ model.

11 DR. ALLEN: Excuse me for a moment. Clarence
12 Allen. Is that based on data or on modeling?

13 MR. WILLIAMS: I think it's got a database, but
14 then it's a modeled presentation. Chlorine 36, the typical
15 diagram that we've seen a lot of, the distribution along the
16 ESF in the stationing, the ratios of the bomb pulse chlorine
17 36. We have our threshold at 1500. We have the light-
18 colored boxes, which are feature-based samples, and we have
19 the filled boxes, which are the systematic samples.

20 All of the systematic samples running down here
21 below the threshold of 1500 times ten-to-the-minus-15,
22 chlorine 36 ratios, and the hits of the bomb pulse above the
23 threshold in key places like the Bow Ridge Fault, the
24 Sundance Fault, here in the vicinity of the Drillhole Wash
25 Fault.

Some very late data coming into this sample set --

1 in fact, it wasn't even in the deliverable that Los Alamos
2 sent in at the end of August, is some of the iodine 129 bomb
3 pulse data and the technetium 99 data. Corroborating data
4 from other bomb pulse environmental isotopes that's helping
5 us verify the bomb pulse chlorine 36.

6 DR. ALLEN: Excuse me once again, Dennis. This
7 means then that there is no other way to explain the carbon
8 or the chlorine 36 other than bomb pulse. Originally, they
9 were talking about the other spallations.

10 MR. WILLIAMS: Yes. Other spallations, they've
11 done calculations on that. It doesn't appear to be valid.
12 There was always the contamination issue. That does not
13 appear to be valid. Now we've got the corroborating data
14 coming in from other bomb pulse indicators. It looks like
15 it's real.

16 DR. ALLEN: I see.

17 MR. WILLIAMS: If we look at the spatial
18 distribution, this is the map of the surface with the ESF on
19 it and some of the structural features running through the
20 area. The little circles here are where we have
21 concentrations of those bomb pulse hits.

22 We do see it associated with some structural
23 features and, of course, we've said these are associated
24 with faults, fractures, cooling joints, those type of
25 feature-based occurrences in the ESF. I want to point out
this area here, where we have the Drillhole Wash running

through or the Drillhole Wash Fault running through the ESF.

1 We have bomb pulse chlorine 36 in the vicinity of that
2 particular fault. However, we do not have any bomb pulse
3 hits on that fault structure.

4 The bomb pulse hits that we have fractures in that
5 area are on smaller fracture features oriented in a north-15
6 to north-30-east direction. So the actual features are
7 oriented in this fashion.

8 We had the best geometries right here for
9 determining that because we are cutting those features at
10 right angles with the ESF, with that tunnel. Down in this
11 area, we see a few features coming up on that north-east
12 orientation, but they're more difficult to determine because
13 of the orientation of the main running along that north-east
14 orientation.

15 One of our working hypotheses for this year is to
16 look at more north-east orientations to see if, in fact, we
17 are getting a structural control in the north-east
18 orientation on these chlorine 36 bomb pulse hits.

19 DR. DOMENICO: Excuse me, Dennis. What was the
20 orientation again? I got north-15.

21 MR. WILLIAMS: North-15 to north-30-east. That's
22 the bomb pulse part of chlorine 36. In addition, we're
23 using chlorine 36 for other purposes, the non-bomb pulse,
24 for mass balance of chlorine to determine percolation flux
25 through, from a global sense, through the bulk of the

1 repository. This is some information coming out of Los
2 Alamos from various drill holes that are showing the
3 averages or showing the database from several bore holes,
4 the frequency of the samples over here, and basically the
5 averages for units like the PTn, the non-welded Paintbrush
6 Tuft, Calico Hills non-welded, and the Prow Pass, and we
7 have numbers in the -- or averages, two millimeters per
8 year, five millimeters per year, three millimeters per year.

9 Again, don't take these numbers to the bank.
10 These are indications. This is another indication. There
11 is nothing down here that we are actually measuring that
12 value from directly off a meter.

13 I put the fault map up here from Warren-Day.
14 These guys are always involved in all of our discussions
15 because we feel that there's a lot of evidence that there is
16 structural control on bomb pulse chlorine 36 and we've got
17 the guys doing the maps on the surface working with the
18 mappers in the underground, comparing surface structure to
19 underground structure.

20 In addition, this year, we have specifically
21 identified a task in the structural arena to look at the
22 structural implications of chlorine 36. We were doing it
23 last year. It wasn't formalized. It was an ad hoc thing.
24 This year we have formalized that. We want to figure this
25 problem out.

DR. ALLEN: Excuse me. The red versus the black

here.

1 MR. WILLIAMS: The changes between the Scott and
2 Bonk and the new mapping of Warren-Day. It's basically an
3 update of the Scott and Bonk maps.

4 DR. ALLEN: In other words, some of the black
5 lines are now thought to be wrong in their position.

6 MR. WILLIAMS: Well, maybe not exactly wrong, but
7 depending on just exactly where it lies on the surface.
8 Remember, Scott and Bonk was a pretty large-scale mapping
9 exercise.

10 DR. CORDING: The red is the update.

11 MR. WILLIAMS: Update.

12 DR. CORDING: And the black is the original.

13 MR. WILLIAMS: Was the old, yes. Fracture coating
14 data coming out of the U.S. Geological Survey. This is
15 noted as preliminary data, Peterman and Paces. It's not
16 going to be preliminary anymore because I got the report in
17 yesterday, the final report on this, and it ends up being
18 Paces and others with Peterman in the list of authors.

19 Basically what it's showing is the distribution of
20 ages on calcite and opal from the ESF samples. Again, this
21 is one of the big things that the ESF did for us. It
22 allowed these guys to go in here and look at these fractures
23 in place and find these delicate textures, such that they
24 could strip off and date.

25 There are some very interesting things in that

1 report that just came in, their September deliverable. One
2 of them has to do with flux. Zell has calculated the total
3 amount of calcite in the mountain, the total amount of opal
4 in the mountain. He looks at the deposition on these
5 fractures. He can see deposition, constant deposition over
6 12 million years on some fractures, continuous deposition,
7 without breaks, is what he's telling us.

8 He uses this information plus what he's calculated
9 to be the total volume of water deposited calcite and opal
10 in the mountain, he comes up with percolation fluxes from
11 that; for calcite, 2.1 millimeters per year; for opal, 0.3
12 millimeters per year. Again, that's what's in the report.
13 I haven't double-checked his calculations. I probably
14 wouldn't understand the calculation anyway, but it's another
15 indicator. It's not something we take to the bank, but it's
16 an indicator of what may be going on in the mountain.

17 DR. DOMENICO: One question. We recognize fast
18 paths and slow paths, these kind of ages. Are we looking at
19 the samples that were taken when we're looking at the slow
20 percolation rates?

21 MR. WILLIAMS: We're looking at very slow
22 percolation rates.

23 DR. DOMENICO: And you're still getting as much as
24 you anticipated, 2.1 to 3 millimeters per year.

25 MR. WILLIAMS: 2.1 for calcite, 0.3 for opal.

DR. DOMENICO: For the presumed slow pathways.

MR. WILLIAMS: For the presumed slow pathways.

1 Now, I think some of you were involved in a workshop that we
2 had out at the ESF. One of the things that we do not see is
3 a lot of -- we do not see fracture fillings in those
4 fractures where we find bomb pulse chlorine 36.

5 So there's still something to be sorted out there
6 of why. One of the things that Zell tells us is he feels
7 that the fracture aperture has to be something on the order
8 of five millimeters to have the head space for these
9 fracture fillings to develop. The fracture apertures for
10 the bomb pulse chlorine 36 are very tight, very small.

11 Another indicator, temperature, the geothermal
12 gradient. Basically, the site area, the gradient at the
13 repository horizon over the mountain, based on this set of
14 bore holes. Over here we have the scale from 18 degrees up
15 to 26 degrees Centigrade.

16 Over here we have a plot, a modeled plot showing
17 potential fluxes as related to temperature, and this
18 particular data set here is for a rather short bore hole
19 UZ5, but it was out of one of Rousseau's reports. But here
20 we see the -- I call it the dampening effect of the heat due
21 to the percolation flux. That's my simple terminology for
22 what's happening here. But we see these values coming in
23 somewhere between that one and ten millimeters per year on
24 percolation flux.

25 Again, a lot of discussion, a lot of argument

1 about the validity of this approach, but it's another
2 indicator. It's something else that we have to look at in
3 more depth in order to understand exactly what we're dealing
4 with here.

5 Perched water data. The lack of equilibrium
6 between the fractures and the matrix. In large part, here,
7 based on chlorine concentrations, and we have our perched
8 water over here, showing relatively low chlorine
9 concentrations; however, much higher up in the pore water
10 samples, both up in the PTn and then down here in the Calico
11 Hills.

12 Plus the fact that the perched water is coming in
13 with an age of around 7,000 year old water. How were we
14 getting 7,000 year old water through all this old matrix
15 water up here, 200,000 year old water, unless something else
16 is going on in the mountain that we really haven't got an
17 understanding of yet.

18 Perched water. There's been some calculations on
19 the perched water; what kind of fluxes are associated with
20 the perched water. Our numbers range from zero to 0.3
21 millimeters per year, as minimum values. These are
22 indicating down on the low range.

23 One of the difficulties of dealing with these kind
24 of numbers is you're dealing with a perched water volume, a
25 very illusive item to deal with from a volumetric
standpoint, calculating that volume of water.

1 Just a couple more real quick ones on the perched
2 water. The distribution of the perched water that was --
3 from a bore hole standpoint that was used in the modeling,
4 they don't have SD/12 on this, an oversight. Striffler's
5 interpretation of the structural controls potentially
6 associated with perched water, possibly the top of the PTn,
7 the Calico, possibly down in the Calico. It's basically
8 some background on that.

9 And if we look at perched water from the north end
10 to the south end, with the north-south main basically
11 through this area here, looking at where the perched water
12 resides with regard to the vitric-zeolitic boundary, we see
13 the vitric-zeolitic boundary down here in the dotted. We've
14 got the perched water sitting down here, very close to that
15 particular boundary.

16 So at that point, I would like for Bo to join me
17 and basically go into some of the details of how this data,
18 these interpretations are used in the unsaturated zone flow
19 model. Bo?

20 MR. BODVARSSON: Thank you, Dennis. Yes. I'm
21 going to talk just a little bit more about the details of
22 the modeling work that has shown us with respect to many of
23 the things that Dennis has already mentioned. My outline is
24 as follows.

25 I'm going to talk first a little bit about the UC
model, UC meaning unsaturated zone flow model; the data that

1 go into it; the model calibration; and then I'm going to end
2 with some talks about percolation flux studies and what does
3 all of this mean.

4 Then Dennis is going to talk later about the
5 testing that we are planning to reduce uncertainties in all
6 of these things.

7 It should be noted that the unsaturated zone is a
8 big volume of rock and practically all the participants in
9 the project, including all the labs and the survey, have
10 been doing a lot of data-gathering that is useful to to the
11 UC model, as I will show you a little bit later.

12 Another thing I want to point out for the Board,
13 though, there's a series of reports that were issued, DOE
14 milestone reports, that are available now. I think most of
15 them have been approved by DOE; hopefully, most of them have
16 been approved. And a lot of the stuff that I will be
17 talking about is in the UC model report, the big milestone,
18 and also some, of course, in June's milestones, as well as
19 Zell's milestones.

20 I want to talk now a little bit about the model,
21 just two brief viewgraphs. This is somebody else's, so I'm
22 not going to talk about this one, although it actually looks
23 pretty good.

24 I want to talk a little bit about the UC model and
25 this is basically just a top view of the model that shows
the area that we are considering. You know the ESF, that is

coming around here. Currently we are located about here.

1 You see the fine grid in the repository area where we expect
2 to put the waste.

3 We have now extended the model to the west to be
4 able to take into account the different bounding conditions
5 for the Solitario Canyon Fault. We may have rainfall and
6 infiltration in that area. And we have taken into account
7 the location of all the wells, as well as most of the major
8 faults in the area.

9 This is a three-dimensional model that is used to
10 calibrate against moisture flow, against gas flow, against
11 temperature.

12 Now, what is the purpose of this model? The
13 purpose of this model is, in my view, first and foremost,
14 the evaluation of percolation flux. And why is that?
15 Dennis mentioned percolation flux about 20 times in his
16 presentation and I'm going to try to beat that, at least 21
17 times. But the reason is as follows.

18 When you take a look at the waste isolation
19 strategy that many of you have seen, there are five
20 attributes to it that are listed here; from the seepage into
21 drift, to the waste package environment, including the
22 humidity environment, the waste mobilization, the
23 radionuclide transport, both through the engineered barrier
24 and the rocks, as well as dilution. Out of these five, four
25 are strongly controlled by the percolation flux going

through the mountain.

1 So this is unquestionably the most important
2 parameter that we have to determine. What do we have to
3 determine? We have to determine the spatial variability of
4 it, number one, because we know it's not a uniform number in
5 the repository horizon. You need to also determine how much
6 of this percolation is actually going into the drift,
7 because if it bypasses the drift and doesn't contact the
8 waste or create an adverse environment in and around the
9 canisters, that's fine.

10 So there are basically two problems or three
11 problem that I'm concerned with in the modeling. First is
12 the spatial and temporal distribution of the flux globally.

13 The second one is how much of this goes into the drift
14 through discreet features. Thirdly, then, flow path, of
15 course, to the water table, because that affects the
16 radionuclide transport issues.

17 So that's all I want to say about the model and I
18 want to talk a little bit about the data. We get data from
19 a lot of different people, a lot of different organizations,
20 and it's kind of summarized in this viewgraph.

21 This is basically the UZ model box, which is a
22 core operation between the Survey and LBL. Then what feeds
23 the UZ sat scale model is geology and geophysics, matrix
24 properties, fracture properties, infiltration, in situ
25 thermodynamic conditions, environmental isotopes, the

1 pneumatic gas data, the ESF moisture balance data, and all
2 of this information has to be in the model to make it
3 calibrated and make it the best model we can possibly make
4 it.

5 As you see, almost all the participants that are
6 involved in some way or another are feeding data into this
7 model, and we appreciate that, of course. Then what comes
8 out of this model, as was mentioned before, both in Steve's
9 talk and other talks, this feeds directly into the transport
10 model and, most importantly, into TSPA. I think Abe is
11 going to give you a very good example this afternoon of how
12 he used basically the output from our model milestone this
13 year to do very quick TSPA calculations to see the impact in
14 just a few days, which makes this a very good kind of
15 integration.

16 Then we feed this into thermal modeling and then
17 gas transport models.

18 I'm not going to talk any more about the data
19 because Dennis told you all about the data so far. I'm
20 going to talk now a little bit about the calibrations. How
21 do we use this data? This is not in your package, but this
22 is kind of the approach we are using in calibrating the UZ
23 model. As I mentioned before, we have the three balances;
24 the gas balance, the moisture balance, and the energy
25 balance. All of them must be contained in the model because
they are all coupled.

1 By far, the most important one, of course, is the
2 water balance, because that controls the percolation flux,
3 the spatial variability, the temporal variability, and flow
4 into seeps. So that is strongly affected by the gas and the
5 heat. So there are couplings in all of these.

6 We also must take into account the energy balance
7 both for the thermal loading calculation and also to make
8 sure that we have the proper heat transfer mechanism in the
9 mountain, because you as know, the mountain is not
10 isothermal; 33 degrees at the water table, 18 degrees at the
11 surface.

12 Then the pneumatics. Pneumatics, as you know,
13 when weather storms move past Yucca Mountain, the signal
14 goes hundreds of meters into the mountain and we use that to
15 estimate structural permeabilities of the Yucca Mountain
16 rocks. That's very important, too.

17 With this approach, I'm now going to look in a
18 little more detail about the percolation flux than what
19 Dennis has been doing. Here is, as he mentioned many, many
20 times, there is no unique way of determining percolation
21 flux. But given the fact this is so important to determine,
22 you must take into account all of these different areas and
23 try to figure out where does it fit on here, on this
24 percolation flux estimate.

25 I'm going to put them all together for you. It
should be emphasized again that this is a continued

1 evolution, our work, and none of these values are really
2 absolute. We have to do some studies and tests to make sure
3 that we are in the right ballpark.

4 Starting with infiltration, Dennis showed you this
5 map here. What is actually interesting, two years ago, when
6 we did the latest big model, UZ model, I used perc
7 infiltration values ranging from .001 to 20 or 30, a huge
8 range. If he can somehow bracket this range more, then we
9 will have a lot more confidence in our performance
10 assessment calculations rather than just go with tiny values
11 and high values.

12 The infiltration studies by Alan Flint seem to be
13 doing that. He is now converting what he believes is a very
14 reasonable representation of the infiltration at the
15 surface, which is basically in the repository area, ranging
16 from about zero to 14 millimeters per year.

17 When I use the UZ model to calculate the average
18 flux in this area, you get about seven to eight millimeters
19 per year of flux due to infiltration, because you have the
20 highest value at the ridge tops here, but then due to the
21 tilting of the layers, this water moves down through the
22 mountain and some of it spreads out in the Paintbrush, and
23 then you get a large area, about seven to eight millimeters
24 per year.

25 So we'll put this on our lower map here, on the
right-hand side, and I'll put an "I" here that indicates

1 estimated flow. Alan Flint indicates infiltration estimates
2 percolation to be around to five to ten millimeters per
3 year.

4 Going to the next one, which is the saturation and
5 moisture tension data, as you know, we have about ten to 12
6 bore holes at Yucca Mountain, all of which give us this
7 information here. They give us these dots that indicate
8 saturation measured in cores and they give us these values
9 that indicate also moisture tension measured in cores.

10 In addition to that, Joe Rousseau and his
11 coworkers have obtained in situ moisture tension values that
12 allow us to refine these estimates, because you see they are
13 very variable.

14 You can use a model like the UZ model to see what
15 infiltration rates best reflect these data from all ten to
16 12 bore holes. When we did this in the past, our conclusion
17 was always that the moisture tension and saturation data
18 favored low fluxes. Why was that? That was because we
19 didn't have a detailed infiltration map like we have now, so
20 we had to use uniform infiltration maps and then some of the
21 bore holes that showed some very low saturations did not
22 like it when we input high infiltration fluxes.

23 Now, with this information, our best estimate is
24 that the moisture tension and saturation data is consistent
25 with fluxes on the order of one millimeter or so, and I will
put that right there, saturation.

1 The problem with these data, and they are very
2 inaccurate, is that the rock matrix -- and Dennis mentioned
3 this a little bit. The rock matrix, if you have transient
4 pulses moving through the mountain, the rock matrix may not
5 see those transient pulses. They may not impact into the
6 matrix because they go so fast through the fractures. So
7 this is only representative of long-term kind of slow
8 fluxes, I would think.

9 Going right down, let's talk a little bit about
10 the pneumatic data, and Dennis mentioned that also. I think
11 the pneumatic program that I think DOE started like -- what
12 is it -- three years ago, you think, Dennis -- has been a
13 great success. It has told us tremendous amount of things
14 about the mountain; not moisture flow, because this is gas,
15 but also a lot about the features and fractures and faults.

16 This is just one example of a signal in -- well,
17 this happens to be UZ7A and these are the sensors in the
18 Topopah Springs area. What you have here is the calibration
19 period which we used to calibrate our UZ model and the red
20 line is the simulation and then the gray line is the data,
21 and you see the calibration is very good, and then these are
22 the predictions, because what we do is in order to establish
23 a track record, you do blind predictions and then compare
24 our model results to the actual data.

25 So what we do is we wait six months and then Joe
Rousseau at the Survey sends us the surface signal moving

1 through Yucca Mountain and the biometric pressures at the
2 surface, and then we do our prediction for that period and
3 send the data to Joe and he sends us the real data. So we
4 really have a blind prediction and this is very well
5 documented.

6 You can see the pneumatic is very well represented
7 by the model and what this gives us is a very nice picture
8 of gas permeability in situ. This is the map that Dennis
9 showed you. There are two signals here. One is at the
10 ground surface, the storms moving past Yucca Mountain. The
11 other is the signal going from the ESF, because that has the
12 same pressure boundary condition as atmosphere.

13 From the atmospheric or the surface signal, you
14 get the vertical permeabilities, and from the ESF signal,
15 you get the horizontal ones. So this really allows us to
16 determine very accurately or reasonably accurately the
17 permeabilities of the rock mass.

18 Now, to summarize for you what we have seen, we
19 see basically in Tiva Canyon ten Darcys, horizontal and
20 vertical permeabilities, roughly, all of Tiva Canyon, that's
21 permeability of the gas flow, and this corresponds very well
22 to Gary LeCain's Air-K data, and you would see this in bore
23 holes.

24 When you go into Topopah Springs, you see a non-
25 isotropic system, with a horizontal permeability on the
order of ten Darcys -- a vertical on the order of ten

1 Darcys, horizontal on the order of two Darcys; still very
2 permeable, very fractured, very permeable. And the fact is
3 for every single bore hole, you see it going deep into the
4 mountain. So there are always pathways in the fracture
5 system. Very continuous fracture systems.

6 With respect to the faults -- let me -- the PTn in
7 the middle is about 300 milli-Darcys, roughly. When you
8 look at the faults, you see different permeabilities and
9 much, much higher permeabilities for a lot of the faults.
10 For example, when the ESF penetrated this fault here, which
11 may be an extension of the Dune Wash Fault, that goes up to
12 UC four and five, this is like a 500 meter distance and we
13 saw it instantaneously and the model estimate is like 1,000
14 Darcys for this fault, very permeable, right through these
15 bore holes.

16 But the other indication, this is also very
17 interesting, too, is that you're matching a fault here
18 intersecting these bore holes and you see the ESF provides
19 the pathway and the surface signal much quicker than what
20 goes from the ground surface. Right? Now, what does that
21 tell you about the vertical permeability from the repository
22 up to the surface? It must be low because it doesn't see
23 this right from the start. It has to see it from the ESF.

24 This is the case for several other faults, too,
25 like this one which connects to NRG6. It goes -- ESF hits
right here and it goes down the fault here, we think, and

1 then intersects with the bore hole, giving very high
2 permeabilities of the fault zone.

3 The pneumatic, though, you always must keep in
4 mind, does not give us any indication about percolation
5 fluxes, just flow of gas. But it gives us indirect evidence
6 because, for example, if there was no permeability in the
7 fault from the repository to the surface, it may be water
8 filled. But it's not. There is some permeabilities there.

9 Going now into environmental isotopes, and Dennis
10 talked a lot about chloride 36, bomb pulse things, and I
11 want to say a few words about that. The chloride 36 bomb
12 pulses cannot be used to estimate percolation flux because
13 we believe and I think everybody in the project believes
14 that these are localized phenomena due to the fault going
15 through the PTn, and you see that that's been very few
16 areas. At best, you will estimate a localized flux for a
17 single point in the repository horizon.

18 But what the Los Alamos people and Bruce and June
19 have done is to try to use the non-bomb pulse chloride 36
20 that Dennis mentioned before. That is the one which is
21 below the magic number of 1500 times ten-to-the-minus 15 in
22 the ratio. What you see in the graph that Dennis showed is
23 that most of the values are between 500 and 1200 in the
24 repository horizons.

25 So what they have constructed is the past history
of the boundary condition at the surface, the best they

1 could, all the chloride 36 through chloride ratios in the
2 past. We know that in about the last eight to ten years, it
3 has been roughly 500 or so. Of course, with the bomb pulse,
4 it was much, much higher. At the time, we got to zero here.

5 But then they constructed these models, as well as Patrack
6 Mitten's data that they get from fossils, that allows them
7 to construct a history that looks something like that.

8 And what does it say? I says that about 10,000
9 years ago until about 40,000 years ago, it was roughly
10 around 1,000 or so, this ratio, in the atmosphere at that
11 time. Then over the last 10,000 years or so, it's much,
12 much lower.

13 They're using this information and doing numerical
14 simulations. They conclude that basically the flux should
15 be somewhere on the order of one to five millimeters per
16 year. Why is that? Let me explain that.

17 This is their one-dimensional simulation using
18 station 35 and this is the geology. For one millimeter per
19 year, they get these fracture versus matrix flow. That says
20 basically matrix is the solid line and fracture is the
21 broken line. This is basically in the PTn. Of course, we
22 have all matrix flow. In the Topopah, we have mostly
23 fracture flow. And then they did the simulation using this
24 chloride, the source term on the surface, and calculate the
25 profiles of chloride 36 going down through the mountain?

What do they find? That if the flux is very low,

1 they find chloride ratios which are lower than 500, because,
2 remember, from the source term, it was about 500 at the
3 surface over the last 10,000 years or so. Actually, this
4 was for -- this would take like 200,000 years from the
5 surface to the repository horizon. So this would be the
6 very, very, very old source signal. This is estimated to be
7 lower than 500.

8 When you have like five millimeters per year, it
9 takes only like 10,000 years or less or 10,000 or 20,000
10 years to go to the repository horizon and that's how you get
11 these higher values of chloride that we're getting on the
12 repository horizon, like 500 to 1000 in ratio.

13 So they conclude from this analysis, again, which
14 is uncertain, like all of the analysis, that the flux would
15 be somewhere in between one and five millimeters per year.
16 So we will put that here. This would be environmental
17 isotopes, one to five millimeters per year.

18 Now I'll go into fracture coatings, and, again,
19 Dennis mentioned a little bit about this. This is just a
20 little cartoon. This is work from Peterman and Paces,
21 again. Remember, in the past, they used to do this analysis
22 of a single fracture to estimate the percolation flux using
23 a continuous depositional model and they came with something
24 like ten-to-the-minus four millimeters per year in flux
25 rate. But when they do this estimate of doing a global
estimate of the total amount of calcite in place,

1 calculating then the total amount of water needed to deposit
2 the calcite, over 12 million years, they get the two
3 millimeters per year that Dennis mentioned.

4 So this is a global calculation using the ESF and
5 the calcite contents of the rock and extrapolating it over
6 the entire mountain to get at the percolation flux rate, and
7 that comes through about two. So we would put the F right
8 there.

9 So moving right along, let's go to temperatures,
10 right here. Temperature data is available for 20 wells --
11 from 30 wells at Yucca Mountain, a lot of wells, and the
12 bore holes are shown in this viewgraph and this color scheme
13 just shows basically the elevation.

14 Now, what I wanted to show with this color scheme
15 is that most of the bore holes are located in the washes.
16 They're not located on the crests. They're more in the
17 washes.

18 When you look at the temperature data, you will
19 find that the thermal conduction alone cannot explain the
20 flow of heat from the saturated zone to the surface. Sass
21 estimated that the total heat flow in the area is something
22 like 40 to 50 milliwatts per meter squared. When you use
23 that and the temperature gradient in the Topopah Springs, as
24 well as the measured thermal conductivity in the Topopah
25 Springs, you get only half of that, like 20 or 25 milliwatts
per meter squared.

1 So something else, if these estimates are correct,
2 must be carrying the energy from the saturated zone to the
3 surface. There are two theories, both of which Sass
4 mentioned in his paper. This is the 1988 paper that you
5 probably have seen. One of them is gas collection. Gas
6 comes in and since the humidity is low at the surface, it
7 might be 30 percent, comes in, low in water content, then it
8 gets to higher temperatures here, so the solubility of water
9 in the gas is higher. It picks up the water here through
10 evaporation process, brings it up here where the
11 temperatures are lower, and then, because the temperatures
12 are lower, the solubility of water in the gas in the air is
13 lower, is three percent here, is about one percent here. So
14 that water has to condense. It has to go out of solution.
15 It can't stay in the gas phase because of thermodynamics.

16 What happens when it condenses? The latent heat
17 evaporation for water is very high, very large. So that a
18 small amount of water carried with the gas gives tremendous
19 heat transfer up through the mountain. It has been
20 estimated that it only takes like 0.2 millimeters per year
21 to bring the energy from here to here through this proces.
22 This is one possible explanation for the heat transfer.

23 The other one is that percolation. That's what we
24 have looked at the details. If you introduce water through
25 infiltration that is percolating through the mountain, there
must be some energy taken to heat it from 18 degrees to 33

1 degrees, because it has to get heated. That energy comes
2 from the heat flux through the mountain.

3 The interesting thing with this, when I started
4 looking at this, I said let me look at a few wells and see
5 if we get the consistent picture in these temperature
6 gradients or if they are all over the place. And heaven
7 behold, when you take a look at the gradients in the Topopah
8 Springs, these are the temperature gradients in degrees C
9 per kilometer, most all of the wells in the middle close to
10 the crest have the same gradient in the Topopah Springs.

11 Now, what does this look like to you? This looks
12 pretty much like the infiltration model, doesn't it?
13 Because the highest infiltration that Alan always estimated
14 was around the crest here. This is the same one Dennis
15 showed and this is the calculation that Ed Kwicklis and Joe
16 Rousseau showed and, again, they are looking at the
17 gradient, but for a very shallow bore hole, and they showed
18 for .1 millimeter per year infiltration, you have a gradient
19 of 22 degrees per kilometer. When you go to ten, you have a
20 gradient of only 17.

21 So what does that mean? For our 18 to 19, this
22 corresponds to a percolation flux of some five to ten
23 millimeters per year using this approach. A very consistent
24 picture. And if you compare this picture to the percolation
25 flux that we get from the UZ model, unfortunately, these
scales are not quite the same, but you see here, based on

1 our model, about eight millimeters per year over an area
2 that spreads out here and spreads out a little bit here in
3 the same area. This may be five. This is calculated from
4 the infiltration down to the repository.

5 So it looks very, very similar. So these indicate
6 -- from this study, it indicates perhaps five or so
7 millimeters per year infiltration. So we'll mark that like
8 T. But don't forget that there is some alternative
9 explanation that we are investigating, and that is the one
10 with the gas flow. If this one turns out to be correct, the
11 flux may be much, much lower, based on this analysis, but
12 this is what the analysis shows so far.

13 There is one thing that may not make this model --
14 that we need to investigate this model, is that if this one
15 is true, it takes very large velocities to go through the
16 mountain, like 15 meters per second -- 15 meters per year
17 was what Sass estimated. So all of this gas would have to
18 be very young, at something like 50 to 100 years, and I'm
19 not sure the data agrees with that. But we need to look at
20 that.

21 The final thing is perched water. What does
22 perched water tell us about percolation flux? Dennis quoted
23 the north ramp report from the Survey that looked at the
24 perched water around the UZ14 and they concluded basically
25 that it's on the order of .3 millimeters per year and most
of it through fractures, because the chloride content on the

1 perched water is very low. It's like seven or eight
2 milligrams per liter, much, much lower than that in the
3 Topopah Springs.

4 We've done some modeling to try to get the perched
5 water body and we get it at the right place, as you can see,
6 around UZ14, NRG7, SD9. We even match the pump tests done
7 in this perched water body to try to get a handle on the
8 volume and things of that sort. And what we've come up with
9 is like it would require like one or two or so millimeters
10 per year or on the order of one millimeter per year to
11 explain the perched water body. A lot of that flux should
12 flow through the fracture because of the chloride contents.

13 So this is perched water body.

14 So what does this mean? You take a look at this
15 and you say, heaven behold, this all looks like one to ten
16 millimeters per year. All of these methods seem to suggest
17 that the range is something like one to ten millimeters per
18 year. But it's certainly not conclusive. All of these
19 methods are very uncertain. There are plans in place that
20 Dennis will tell you about that are going to investigate and
21 try to discriminate between all of these different
22 approaches and try to get us a better handle on the
23 percolation flux.

24 If I were to conclude, in my heart, what I thought
25 personally based on this data, the percolation flux would
be, I would say, somewhere around one or a little higher

1 than one perhaps, based on this data and perhaps might be
2 somewhere in this range. I would certainly not rule out
3 this area here because you don't see any water coming into
4 the drifts. Some of the data indicates lower fluxes. We
5 know that the percolation flux varies spatially.

6 So there are all kinds of uncertainties and I
7 think the important thing is, when Dennis tells you a little
8 bit later about the tests that we are planning to do to look
9 at this.

10 Now, what does it mean? What if the flux is so
11 high? What will it tell us? Let's look at that a little
12 bit. We have in our report investigated both the higher
13 flux estimates as well as the lower flux estimates to give
14 us an idea how the flow patterns are in the mountain, given
15 a low flux and a high flux, because we are not ready to
16 throw away the Montazer and Wilson low flux model to the
17 repository yet. We need to study it. These are two
18 alternative models that need to be investigated.

19 So we looked at this through the three-dimensional
20 model and here you see what generally you get from these
21 kinds of models. You see you prescribe some kind of
22 infiltration flux and in this case, we used a very low flux.

23 Then you get saturation profiles, velocities and flux rates
24 and gas pressures and temperatures all through the mountain
25 that you can look at.

Some of the things that are most important for us

1 certainly is the saturations at the repository level and the
2 fluxes at the repository level, and Abe will show a little
3 bit about that in the TSPA calculations. The other thing
4 certainly is the vertical mass flux at the water table.
5 This started out with a uniform point, one millimeter per
6 year on the surface, but you see how heterogeneous it is at
7 the water table. It varies from nothing in many regions to
8 large amounts that have accumulated because of flows,
9 because of the vitric zones in the Calico Hills, which are
10 more permeable than the zeolitic holes, zeolitic rocks and
11 all of those kinds of things.

12 The important thing, though, to look at is what
13 happens to the basic features of the mountain in terms of
14 lateral flow, in terms of faults, in terms of ground water
15 travel times, in terms of all of these things when you
16 consider low fluxes and high fluxes, and the behavior is
17 drastically different. We must look at this and then design
18 a testing program to go after these teachers to tell us
19 which one is the right model.

20 Take a look at this one. This happens to be a low
21 flux going from UZ14, to east and west, and you remember --
22 I will show you this cross-section really quick. It's just
23 basically a cross-section, east-west, in this region right
24 there, UZ14. And when you look at this, you see one thing
25 that stands out. For this low flux region, you get a
tremendous amount of lateral flow through the PTn, over

1 kilometers, you have a flux as low as .1 millimeter per
2 year.

3 We can also have a tremendous amount of lateral
4 flow on top of the zeolites, the low permeability zeolites
5 in Calico Hills. But what does that mean? Some of these
6 accumulate in faults and large features and move down
7 pathways. The other case, this is Alan Flint's infiltration
8 map, of five to ten millimeters per year, and, heaven
9 behold, you don't get any lateral flow in the PTn
10 whatsoever. You get lateral flow in the top of the zeolites
11 to some extent in some of the simulations. In other
12 simulations, you don't. They're not on top of this.

13 So the final slide here. The emerging alternate
14 conceptual models that need to be investigated and looked at
15 through a testing program, modeling, lab tests, whatever it
16 takes. Here's the one that says we have a lot of -- this is
17 the Montazer and Wilson, plus variations thereof. That says
18 water comes in spatially, variable on the top, it flows
19 laterally.

20 The other one says if you have higher fluxes, you
21 have higher infiltration rates, there is no lateral flow,
22 there is lateral flow in some of the zeolites that are the
23 effects of faults below the repository. There is extreme
24 complexity in the flow paths below here because you have
25 perched water. You have vitric zones with high
permeability. You have zeolitic zones with very low

1 permeability. So the flow patterns are very complex here
2 and need to be investigated, and we cannot discriminate
3 between any of these potential flow paths because we don't
4 have much data. But it suggests don't look at lateral flow
5 in this region.

6 In this model here, perhaps we can look at the
7 chemical changes in the PTn. If you have a huge lateral
8 flow, that should show up in the fluid, because you would
9 have very large resident ponds close to the pulse, for
10 example.

11 So this is where I leave and Dennis is going to
12 tell you what we are going to do to discriminate between
13 those two.

14 DR. DOMENICO: One question. I think it's
15 probably important to emphasize that in this total analysis,
16 you did not consider the bomb pulse chlorine. Everything
17 that you've done sort of pertains to what we have been
18 referring to as slow pathways.

19 MR. BODVARSSON: Correct, yes.

20 DR. DOMENICO: That is correct. And we're getting
21 numbers that are sometimes greater than one, but it's
22 strictly restricted to the flow pathways, everything that
23 you've addressed so far. Okay. Whatever it is, it's later.

24 Not necessarily. Just that travel time might be more.

25 MR. BODVARSSON: With chloride 36, as far as I'm
concerned, these just tell us that something is out there.

1 It could be a minor amount and it may not matter at all,
2 because it's so small amount that there's no impact on flow
3 into drifts or any of those things we are talking about,
4 because it doesn't tell us anything about the volume. It
5 just tells us something is out there.

6 DR. DOMENICO: That's correct.

7 MR. WILLIAMS: You guys are suffering through the
8 unfortunate situation of having back-to-back long-winded
9 guys in the same presentation. So I'll try to scoot along
10 here for the rest of it and see if we can maintain some
11 schedule.

12 I wanted to mention the implications of the --
13 I'll let Bo get out of the way here. I wanted to mention
14 the implications of this evolving or alternative model,
15 whatever kind of term we want to put on it. This is
16 basically the hot potato we're handing off to PA, where Jay
17 will talk about it. Higher percolation flux at the
18 repository horizon. If we have the higher flux, we may be
19 dealing with higher humidities and, obviously, we may have
20 increased percolation flux to the water table.

21 Down in the transport area, below the repository,
22 I mean, we've got quite a bit of understanding about what's
23 -- or we're developing an understanding of what's going on
24 between the surface and the repository. When we get down
25 below the repository horizon, we -- it's a more difficult
situation down there.

1 That's where the transport part of it is going to
2 come into play. I guess I would be so bold as to suggest
3 that maybe the Board needs to hear a presentation on the
4 transport model, because we have a UZ transport model that's
5 in -- that we deal with, as well.

6 In a future presentation at a future meeting, I
7 think that we need to have that transport model discussed
8 and talk about some of these other implications from a
9 transport perspective.

10 The uncertainties associated with this, and we
11 started off talking about some of the uncertainties. Don't
12 take the numbers to the bank. However, we do know that this
13 percolation flux is going to affect four of those five major
14 attributes of the waste isolation containment strategy.

15 We're trying to use a variety of approaches to
16 evaluate that global percolation flux and using as many
17 corroborating lines of evidence as we possibly can.

18 There are certain uncertainties due to the
19 techniques we actually use. The chlorine mass balance
20 method was originally developed for soils. We're using it
21 in a rock system. Of course, we are using things like the
22 temperature, the chlorine 36, the fracture coatings, et
23 cetera.

24 One of the things that's been mentioned about the
25 bomb-pulse chlorine 36, we can get even an indirect measure
of the percolation flux from that. However, from some of

1 the modeling, we know that it's going to -- or we believe it
2 will take percolation fluxes in excess of one millimeter per
3 year in order to get those bomb pulses through the PTn.

4 So that wasn't mentioned, but that's potentially
5 another data point that would fit on Bo's thermometer.

6 And the flow regime -- the uncertainty of the flow
7 regime below the repository horizon. Again, we're down in
8 that area, where we'll be talking about the transport. We
9 don't know the extent of lateral flow in the Calico Hills,
10 what the fracture matrix interactions are going to look like
11 down there. We may be able to infer something with regard
12 to the welded unit, but when we start getting down to those
13 vitric units and those non-welded units, it's a different
14 story, and what are we talking about as far as fast pathways
15 to the water table.

16 The ESF provides us a location about halfway down.

17 We believe we have fast pathways to that location. How
18 much further down do they extend?

19 Plans for future work, FY-97. The big one is the
20 utilization of the ESF. This has been one of the big
21 advantages that has happened to us with regard to looking at
22 the mountain. We've actually got this large diameter bore
23 hole in the ground, running across it. We're going to
24 continue the sample fracture coating information.

25 The work that Zell and others have done has been
very valuable to us. We believe that there is a lot more

that can be derived in that area.

1 The environmental isotopes, not only the chlorine
2 36, but try to get more in the iodine and the technetium on
3 that.

4 The percolation flux test. We have a variety or
5 proposals on a large scale percolation flux -- I shouldn't
6 say a variety of proposals. I should say a proposal from a
7 variety of people wanting us to do that. We're evaluating
8 that this year.

9 Other possible hydrologic tests. We have
10 proposals in on cutting small niches in the ESF to try to
11 capture one of these transient pulses running through there.
12 We're looking into that.

13 Continue the moisture monitoring in the ESF. This
14 will probably be a lot more productive effort after we get
15 the TBM out of there and can control the ventilation system
16 a little bit better. And the continued study of the Ghost
17 Dance Fault. Two alcoves going into the Ghost Dance Fault,
18 I think that this is going to give a real hands-on look at
19 something that may be the ultimate fast path going through
20 the mountain.

21 Long-range plans, more of the same. Again,
22 dealing with the ESF, trying to use it to maximum advantage.

23 The Ghost Dance Fault alcoves, conduct the perc flux test,
24 conduct the UZ transport test, the one that I talked a
25 little bit about earlier during Steve's presentation, and

1 then see if we can get a handle on some of these other
2 things that we want to do with regard to hydrologic
3 properties.

4 We've got contacts out there that we haven't done
5 a whole lot of work on yet. Our funding profiles haven't
6 allowed that. We can go back and look at the PTn, both the
7 upper and the lower boundaries, and that's a fabulous
8 opportunity to do some more work along that contact to
9 understand better how water is moving through this mountain,
10 including those fast paths.

11 In conclusion, what would I say here? Probably
12 the first one Bo summarized at the end of his part. We may
13 be in the five millimeter per year range. Some view that as
14 potentially the upper boundary, but I think we have to
15 recognize that. One to five, somewhere in there, that could
16 very well be where we're at.

17 A lot of discussion on our alternative conceptual
18 model, about de-emphasizing lateral flow at the PTn. I
19 think that that depends on how the percolation rates are
20 going to turn out. Faults as drains above the repository
21 horizon, we didn't talk about that too much, but that's one
22 of the implications of some of the modeling effort that
23 we're looking at right now.

24 When we get down below the repository horizon, as
25 I said, things become not only more complicated from the
fact of trying to understand it, but how we're going to get

1 at that information, because there's not a lot of good ways
2 for us to get at that. Bore holes are possible, but you
3 know what kind of information we've been able to derive from
4 bore holes in the past. It's been good, but it hasn't been
5 as comprehensive as we would have liked.

6 We mentioned the implications of the higher
7 percolation flux and, finally, the long-range plan. We are
8 trying to take into consideration all that we have learned
9 to develop the working hypotheses, such as the north-east
10 trending fractures, such as some of the infiltration data,
11 development or the refinement of the models, plug that
12 information -- or plug those concepts into our planning for
13 '97 and the out years, take advantage of where we can get
14 our best information, and just move forward in that
15 particular fashion.

16 Thank you.

17 DR. CORDING: Thank you, Dennis and Bo. We're
18 pleased to have the opportunity here to see some very
19 interesting information and data as you're putting it
20 together and I'm sure we're going to have some interesting
21 discussions here, as well.

22 Don Langmuir.

23 DR. LANGMUIR: This is pretty exciting stuff.
24 Looking at your lines of evidence for the infiltration flux
25 that you're coming into a bound, at least, for low level
value, some of that evidence, as it looks to me, is time

1 integrated and would suggest to me -- and I'll jump now --
2 that maybe it doesn't matter what climate is going to do in
3 the next million years, because you've integrated much of
4 the past climate changes into these flux measurements and
5 estimates that you've made by several different techniques
6 that are time independent largely. They've integrated those
7 times.

8 How dangerous is this to jump this far?

9 MR. WILLIAMS: I personally don't know how
10 dangerous that is. However, I would like to point out
11 something that was in the Paces, et al, including Peterman
12 report on fracture coatings. They have a comment in there
13 that over the last million years, 80 percent of which time
14 has been colder and wetter, although they do not see a
15 significant difference in the deposition rate of these
16 fracture coatings over that period of time.

17 So I think that that's following along the same
18 lines of what you just stated. It may not be relevant to
19 what's going on down there and to be able to understand the
20 mechanisms for why, I think we've got a long way to go to
21 understand that, but that's what the data are indicating.

22 DR. LANGMUIR: One more. Bo had some lovely
23 plots, and this is for either one of you, I guess, showing
24 what you -- how you've been able to integrate your knowledge
25 of -- on a map scale with a repository in the figure of what
the infiltration rates apparently look like they're going to

be.

1 Do you need an east-west crossing? Are you happy
2 with what you think you know about the west side of the
3 repository block without having to measure it? You've drawn
4 those counters right across the block as if they were
5 comfortable knowledge, using all these different techniques
6 of determining infiltration.

7 MR. WILLIAMS: We have a lot of smilers out there
8 in the audience. They know the question and they know me.
9 I think I would just as soon set with the director's
10 explanation of the plan for the east-west drift. I think at
11 the appropriate point in time, we will discuss with him and
12 provide him input on what we can achieve, potentially
13 achieve with that type of an exploration, but I wouldn't --

14 DR. LANGMUIR: One of the things that you've got
15 to do when you put this in your plan for next year is look
16 at all the techniques that you're using for infiltration
17 estimates and reduce the uncertainties in them. This would
18 reduce some uncertainties, would it not, in a whole host of
19 measurements that you're using for this exercise, or might
20 it?

21 MR. WILLIAMS: I will take your comments into
22 consideration and plan on some carefully considered remarks
23 in the future. Bo might want to make some remarks.

24 MR. BODVARSSON: One comment. Going back to your
25 last question first, really briefly. You are right. Some

1 of these techniques are time integrated, but most of them
2 are not. The only really time integrated one is the one on
3 the fracture coatings, over 12 million years. The
4 temperatures is more what we would call an instantaneous
5 one, although temperatures take a long time to equilibrate,
6 but we are talking about tens or hundreds of years, not
7 something that will affect the climate change.

8 So these techniques, some of them integrate the
9 climates, others do not. So I still think the climate issue
10 is a really critical one.

11 With respect to the east-west drift, one of the
12 things that is on the books or we are perhaps planning in
13 terms of the percolation test is rather than an east-west
14 drift, which is more of a what I would call like another ESF
15 which covers just a line perhaps, one thing that DOE is
16 thinking about is looking at an area like 100 meters or
17 something like that, horizontal bore holes or some other
18 ways where we can get the sampling over over a large area,
19 because that -- basically, percolation flux is an area
20 concept. It's not a line concept.

21 It's an area concept and with that, if you can get
22 access to an area with all of these techniques, as you
23 pointed out, Don, the chlorine 36 non-bomb pulse, the
24 fracture coatings, the saturations and temperatures and all
25 of those. Then I think, from my modeling standpoint, you
have a better chance to get a better estimate of the

1 percolation flux rather than with a line. Do you understand
2 what I'm saying?

3 That's all I wanted to say. Sorry, Dennis.

4 DR. CORDING: Could I continue with that some
5 more, Bo? Ed Cording, Board. Even though you're looking at
6 area, you're still -- you're looking at conditions along,
7 say lines of bore holes or however you orient it. You
8 talked about putting a matrix, a ten-by-ten matrix or a ten
9 meter spacing matrix over 100 meters of bore holes.

10 One of the things I was wondering is if -- I mean,
11 you still are looking at conditions in the vicinity of those
12 bore holes. There's a possibility that things will go by
13 you in fractures between and one of the things I would -- my
14 thought was that if you can do that or do a bore hole
15 testing, maybe double bore holes or some other idea, like
16 going in with the bore holes, but if you can do that in
17 various areas where you have variations and known
18 characteristics, for example, in the vicinity of faults, in
19 the vicinity of cooling fractures and areas where there are
20 fewer fractures or whatever, if you can pick several of
21 those areas, using it almost as an exploration tool, maybe a
22 little more enhanced than just a spot sampling, on other
23 words, isn't that another way of looking at that type of
24 sampling that you're talking about and that type of testing?

25 And is it really key here to get this area of 100
meters by 100 meters or is it something where you could go

1 in and look at a ten meter or 20 meter wide strip at various
2 locations throughout the facility in different geologies or
3 different structural characteristics?

4 MR. BODVARSSON: I think you could do it either
5 way, but I think this is the same problem as the chloride 36
6 problem. What June has elected to do or what DOE has
7 elected to do, whichever one has elected to do it, they
8 decided to have feature-driven as well as systematic. So I
9 think their approach is to both of those.

10 MR. WILLIAMS: I think one of the things that
11 we're going to be looking for in that percolation test, and
12 that's why we've got the guys looking at it this year to see
13 the best place, the best location for doing this, is to look
14 at the representativeness of the fracture systems and we
15 want to see all possible cases, would be the best.

16 DR. CORDING: Sure. And I think you'll see things
17 in the vicinity of Ghost Dance and associated fracture
18 systems that may be different in other places and all. I
19 think -- and you may want to do some combinations of things
20 that are spread out, more feature, and others that you're
21 trying to pick kind of a representative volume or area type
22 approach.

23 Clarence Allen.

24 DR. ALLEN: Clarence Allen, Board. Dennis, in
25 virtually every viewgraph you've shown, you've emphasized
the amount we have to understand, the challenges represented

1 by these findings and so forth, and, as Don says, that's all
2 very exciting and I agree.

3 But you are committed within two years now to make
4 a viability assessment. How confident are you that we,
5 within two years, can make a viability assessment on which
6 you can have -- which is really meaningful and in which you
7 have great confidence?

8 MR. WILLIAMS: I use, as that measure, how far --
9 or as a measure, how far we came in the last nine months, in
10 a year that we admittedly started out as a disaster. I
11 think we've got a lot of momentum right now. I think that
12 we've got a lot of indicators that tell us where we're going
13 to find the answers.

14 I think in that two-year period of time, I think
15 we can develop a tremendous amount of confidence in the UZ
16 model and the pieces that go into it and some of these
17 techniques, some of these corroborating techniques, some of
18 these different ways of measuring flux.

19 I'm confident that we can get to a reasonable
20 understanding in a two-year timeframe to be able to support
21 that viability assessment.

22 DR. ALLEN: Well, the past nine months have
23 created more questions than answers, exciting questions.

24 MR. WILLIAMS: I don't think it's created more
25 questions --

DR. ALLEN: Are the next going to be different?

1 MR. WILLIAMS: -- than answers, because I think
2 that we see several lines of evidence starting to converge
3 on the same type of conclusion with regard to flux, and flux
4 is a very difficult measurement to deal with.

5 DR. DOMENICO: I have a question.

6 DR. CORDING: Don Domenico.

7 DR. DOMENICO: I have a question about the coating
8 study. As I recall, how geochemists do that is they -- so
9 many pore volumes go through rock, if you want to put it
10 that way, with something being deposited. Now, if you can
11 relate that to a flux, you -- I always thought you either
12 have to assign it a velocity of going through or you have to
13 know when it started.

14 So I'm a little bit confused on how the coating
15 information was translated into some sort of flux, because I
16 do believe that's the way it's done. You see equilibrium
17 and the thing grows and it's -- so many pore volumes are
18 sent through to make it go, and that's very mysterious to
19 me, that stuff.

20 Does anybody know about how that is done?

21 MR. BODVARSSON: I think Dennis wants to answer
22 this one.

23 MR. WILLIAMS: I do not want to answer that one,
24 Bo. Why do you think we hire you?

25 DR. MARSHALL: Brian Marshall, USGS. I'm actually
the one responsible -- I shouldn't even admit this -- for

1 that flux calculation and it's really a very simple-minded
2 calculation. Basically, it's taking the total amount of
3 calcite and assuming that you have a mass of water that had
4 a certain calcium concentration and just distributing that
5 over the whole repository block or over the whole ESF, if
6 you want to look at it that way. It doesn't really matter.

7 DR. DOMENICO: There's a sizeable margin of error,
8 I guess, in such a calculation.

9 DR. MARSHALL: Yes. It's provisional or
10 preliminary at this point and we are working on revising it,
11 including geochemical models of how the water evolves as it
12 moves down through the repository horizon.

13 DR. DOMENICO: Thank you. And the other point --
14 you know, I'm going through the facts that you brought out.

15 The temperature. I believe the model that you're -- I
16 won't say rejected right now, but the one that you're not
17 favoring is Ed Weeks' model. Is that true? Did Ed Weeks
18 publish on that some years ago? The moisture movement and
19 the energy transfer due to convection actually.

20 MR. BODVARSSON: I'm not sure if Ed Weeks
21 published on it. Sass has it in his paper and then
22 Papadopoulos and some others did some analytical work on it.

23 I'm not sure Ed Weeks actually worked on that specific
24 problem, the heat transfer due to gas circulation.

25 DR. DOMENICO: But he did something similar where
it was a circulating model. I'm looking specifically at

1 that one. We have a lot of energy moving through the
2 mountain, again, due to the moisture movement as opposed to
3 the one that you're leaning toward.

4 MR. BODVARSSON: He looked certainly at the
5 breathing of the mountain, the gas going in and out and the
6 mass balance in it, plus the silica redistribution due to
7 the gas flow, plus also a modeling of the gas ages both in
8 the Tiva and the Topopah with Don Thorenson.

9 I don't think they did an energy calculation,
10 unless I'm missing, but the reason we are certainly looking
11 at that other model, Pat, and we are not going to reject it
12 because it has a critical importance, which one is the right
13 one. But if the age data that at least I am familiar with
14 suggests 100 year old gas in Tiva and something like 10,000
15 year old gas in Topopah, and that would not be consistent
16 with the estimate of 50 meters per year flow of gas in the
17 mountain to get at the evaporation condensation rates that
18 are required.

19 But we are certainly looking at that and like all
20 of the methods, they are all subject to uncertainties.

21 DR. DOMENICO: I have one last question. This is
22 probably to Dennis. I'm looking at the identification of
23 fast path based on the distribution of elevated levels of
24 chlorine and you said that the orientation seems to be
25 north-15 to north-east-30. You guys have done a lot of
pavement mapping there. You spent a lot of money washing

off rock to get that pavement.

1 I just wondered if you had done some work on that
2 to get some idea of the direction of the permeability to see
3 if it correlates with what you're seeing there. Has anybody
4 done that work with Jane Long's model or Jane Long herself?

5 MR. WILLIAMS: I know we've done a lot of work on
6 the pavements. We've done a lot of fracture data work. But
7 the piece that comes up high on my screen when I hear the
8 structural geologists talk about it is the stress -- the
9 tensional stress orientation in that vicinity, oriented
10 towards the northwest, such that you have northwest-
11 southeast tension.

12 Using that as a model, then, your youngest and
13 most open fractures may be oriented in a north-10 to 30-east
14 direction.

15 DR. DOMENICO: I ask this because I had a young
16 student once apply Jane's model to one of your fracture
17 pavements, one of your actual pavements, and we found the
18 permeability direction to coincide more or less with what
19 you just said, in a north -- I forget if it was northwest --
20 it was northeast or northwest, but I believe it was. It's
21 been some time, you know, but I believe it was in that
22 general direction.

23 MR. BODVARSSON: Just to add to Dennis' comments.

24 Larry Ann at the USGS, his work actually involves taking
25 the fracture mapping that was done both at the surface and

1 within the ESF, doing exactly what you're talking about, the
2 fracture network model. In this case, he uses FRACMAN to
3 try to identify the connectivities, as well as the major
4 direction of permeabilities.

5 DR. DOMENICO: Yes.

6 MR. WILLIAMS: But just for the reasons of that
7 same question that you asked, that is why we identified as a
8 identifiable task this year in our plan the structural
9 implications of chlorine 36, taking all that data, sorting
10 it out and see if there is a relationship between these fast
11 paths and these structural orientations.

12 DR. DOMENICO: That's a very good idea. That's a
13 very good idea.

14 DR. LANGMUIR: I've been trying, in my head, here
15 and I'd guess I'd like your insights, to bring what we
16 learned from the unsaturated zone long before the ESF into
17 play in the analysis which you're finding right now in the
18 ESF. In particular, I'm thinking, and I don't remember the
19 exact numbers now, we had chlorine 36 data from the unsat
20 zone from bore holes on the surface, which, as I remember,
21 were 40, 50, 80,000 year kinds of dates.

22 We also had carbon 14 data, which presumably was
23 impacted by the breathing of CO2 gas, and these numbers down
24 to the repository horizon were in the vicinity, as I
25 remember, of 30, 40,000 year kind of numbers.

We also had some tritium bumps, which presumably

1 are like the chlorine 36 bumps we're seeing in the ESF. But
2 apart from the tritium, does the data that we had for
3 chlorine 36 and carbon 14 from shallower holes fit into the
4 model you now have for the mountain? Is it consistent with
5 the infiltration rates you're coming up with and your
6 general concept as you now have it from the ESF?

7 MR. WILLIAMS: Why don't you go ahead, Bo.

8 MR. BODVARSSON: Well, the answer, in my view, is
9 yes and no, because there is -- when you look at the
10 chemistry of the mountain, there is a lot of uncertainties
11 in the chemistry and there's a lot of issues that need to be
12 addressed in the chemistry. For example, if you try to
13 derive the perched water from the Paintbrush water, it's
14 very difficult to do that, you know, just straight
15 geochemistry, like a dilution or anything of that sort.

16 If you look at the Tiva chlorides, you have like
17 five to ten, and you look at the perched water chlorides,
18 you have like five to ten that indicate fracture flow all
19 the way down through the mountain. When you look at the
20 pore waters in the matrix, you get 70 to 80 milligrams per
21 liter. The same things occur in some of the other isotopes
22 you talk about. You have three that indicate old ages and
23 then you go into UZ14 and you see 500 years in the middle of
24 the Calico Hills.

25 So my feeling is that a lot of the pieces are
starting to fit together, but there is still some important

1 work that needs to be done on the hydrochemistry,
2 understanding the hydrochemistry and the rock-water
3 interaction, and that may actually be very much a key to the
4 puzzle in the mountain.

5 DR. CORDING: Vic Palciauskas, Board staff.

6 DR. PALCIAUSKAS: Yes. My question is concerning
7 the use of the temperature profiles in your work in
8 estimating the percolation flux. I'm very happy to see
9 that, because it can be definitive, whether you have colder
10 water moving down or hot gases moving up.

11 But I was really surprised by the data that at
12 least you showed in this picture here. It seems to
13 penetrate only about 100 meters from the surface down and I
14 was wondering whether there exists much more data and this
15 data can be used in a more definitive manner and will there
16 be more data collected in the next year for these purposes.

17 MR. BODVARSSON: Let me explain. The viewgraph
18 that you're looking at is misleading, which is my fault,
19 because the picture that you see on the left and side there
20 is from a study that Ed Kwicklis and Joe Rousseau did
21 looking at an individual wash and not looking at the
22 percolation in the repository horizon, and they looked at
23 UZ4 and UZ5 and they saw different temperature gradients,
24 shallow in Tiva, where they tried to infer where the
25 infiltrating water is going, if it was going in the middle
of the wash or in the side slopes.

1 That was the purpose of their study and I put that
2 figure to give some credit to their work. But the fact is,
3 on the right-hand side, you have 15 to 20 bore holes, go all
4 the way to the water table, that we use the gradients in the
5 Topopah, which, I would say, some of them, like the older
6 instrumented bore holes at UZ7A, NRG6 and 7, as well as
7 SD12, are all within a fraction, because he instruments them
8 very carefully and they correlate extremely well to Sass'
9 data from 1988.

10 So I'm sorry about it, it's misleading, the one
11 that you looked at. But we have a lot of data on
12 temperatures.

13 DR. LANGMUIR: Ed, one more.

14 DR. CORDING: Don Langmuir.

15 DR. LANGMUIR: I'm thinking of a hot repository
16 emplaced in your new mountain with a lot more water coming
17 into it. Do you have to rethink the possible consequences
18 of a high loaded repository with this much more infiltration
19 and how does Tom Busheck feel about it when he starts
20 boiling it and running the fluids around and condensing it?

21 Are we changing the possible effects we would see in a
22 repository system with this much infiltration?

23 MR. WILLIAMS: Maybe I'll answer that question.
24 Perhaps we ought to ask Tom Busheck that next time around.

25 DR. LANGMUIR: Bo's in the same lab with Tom
Busheck. Bo, what he have to say?

1 MR. BODVARSSON: I think Tom is extremely happy
2 right now. It gives him --

3 DR. LANGMUIR: Does that mean he has work to do?

4 MR. BODVARSSON: Yes. He has a lot of work to do.
5 I want to -- you asked a question before and I wanted to
6 address it briefly, and that was about the natural analog
7 studies, and I think Pat Domenico mentioned that one.
8 Actually, I wanted to mention that on the books this year,
9 DOE has a task to look at the geothermal analogues with the
10 report to look at the effects of mineralization from the
11 geothermal system, as well as the heat effects to try to
12 infer what's going to happen to Yucca Mountain. I just
13 wanted to make sure that was one there.

14 With respect to the fluxes, I think if you read
15 Tom Busheck's paper with respect to his drift scale
16 modeling, that the flux cannot be a lot higher than five
17 millimeters or more before you get some problems with the
18 humidity conditions, but maybe it can be as high as ten. I
19 don't know. Something like that for the drift scale study.

20 DR. DOMENICO: With regard to that question, Abe
21 said that, of course, you were the geothermal expert. I
22 didn't realize -- I've got a lot of respect for it, but I
23 didn't realize you were a theoretical petrologist and
24 literalogist as well. That's just a joke.

25 MR. BODVARSSON: Okay.

DR. CORDING: I'd like to talk a little more about

1 some of your plans and particularly on the ambient
2 conditions, trying to get a handle on flux from things like
3 the drill holes pattern that you talk about.

4 Bo, were you talking about dry drilling those
5 holes, the ten meter spaced holes? Would that be dry
6 drilling?

7 MR. BODVARSSON: Yes. We're talking about dry
8 drilling. Like Dennis said, this year, we will plan this
9 test much better than we have in the past.

10 DR. CORDING: Would some of this be done and
11 drilled and installed this year? Is that something that you
12 would do? Is that part of the program?

13 MR. WILLIAMS: It's not in the plan for '97. What
14 we specifically have identified is some of the planning
15 exercise to evaluate the test to see how we would lay the
16 test out to get as much as we can a consensus on the types
17 of data we can collect and where we will collect that data.

18 It's very likely that we would not do any actual
19 drilling until the '98 timeframe.

20 DR. CORDING: I know there was discussion also of
21 even local drilling along the drift, along the main tunnel,
22 as well as perhaps in the alcoves. But local drilling with
23 dry drilling perhaps as a combined collection of samples for
24 the isotopic studies and also some more passive monitoring,
25 is that -- is there a plan to do some of that sort of work
in the next year along the tunnels, dry drilling to collect

1 samples, for example, or to monitor some of the ambient
2 conditions back in the holes?

3 MR. WILLIAMS: I think most of the drilling that
4 we have planned for '97 has to do with the work that we're
5 doing in like the Ghost Dance alcoves. As far as a
6 systematic drilling of shore bore holes along the tunnel
7 alignment, we don't have those types of things in the plan.

8 DR. CORDING: Presently, the chlorine 36
9 collection or other isotopic studies, that will be done --
10 was that going to be continued in areas that you've already
11 tunneled through or as you're continuing to advance the
12 tunnel? What sort of sampling program do you have for that
13 and is there a benefit to taking those samples back in the
14 holes, some distance back from the wall as opposed to at the
15 wall?

16 MR. WILLIAMS: With regard to like the
17 environmental isotopes of chlorine 36 sampling, our program
18 this year is very similar to the same funding level as last
19 year. What we want to do is, of course, take samples on out
20 the south ramp and then we want to work on one of these
21 working hypotheses, as I laid out, of seeing if it's
22 associated with those northeast-oriented structures.

23 Also, where we've got opportunities, like in the
24 thermal test cross-over drift that's oriented in that
25 northeasterly direction, possibly sample along the face of
fractures to see what kind of lateral distribution we may

1 have on chlorine 36.

2 As far as drilling holes into the wall to get a
3 chlorine 36 sample, we don't feel that that's got a whole --
4 it's not a real good way to go. The reason you might want
5 to do that is to avoid contamination, but we've shown that
6 contamination is not an issue with chlorine 36. That's what
7 June's report has shown.

8 So we don't want to do that. We don't want to go
9 through the extra what we call uncertainty of trying to
10 drill on a fracture that has chlorine 36 on it.

11 DR. CORDING: It's your feeling you don't have it
12 -- you're convinced that you don't have any contamination
13 issues to deal with.

14 MR. WILLIAMS: I'm convinced we don't have a
15 contamination problem. I think we've got that pretty -- not
16 pretty well -- that well settled and I really want to get
17 into taking some samples on fractures identified in this
18 working hypothesis and moving along some of those fractures
19 so we can get a lateral distribution of chlorine 36, if
20 possible.

21 DR. CORDING: And one other area, and you had some
22 discussion of that. I think, Bo, you described the drift,
23 the humidity conditions and the sealing off drifts, and the
24 interesting part is that the drift itself if a boundary
25 value type problem. It can shed water perhaps and that you
won't even see it coming through. So you're not necessarily

1 measuring actual flux coming through in an undisturbed free
2 field of rock, but certainly you've got there a model really
3 of the drifts themselves and it may be very useful to
4 understand that as you -- you can go in and seal drifts off
5 and observe the moisture conditions and the flow that might
6 occur in that under controlled humidity conditions.

7 I was -- one of -- those sorts of problems, very
8 often, you benefit from being off -- having a long enough
9 drift so that you're away from other influences. So I was
10 wondering what the thoughts were at this point on being able
11 to seal off some of the, for example, ends of alcoves or
12 back into the Ghost Dance looking at different conditions at
13 different locations, what some of the thoughts are regarding
14 that and if there are any plans in the program in fiscal '97
15 to either develop a program for that or to actually seal off
16 a few things, a few alcoves and do some of that sort of
17 testing.

18 MR. BODVARSSON: I can talk about some of the
19 ideas and then you can talk about the planning. Like you
20 pointed out very correctly, there are two or three aspects
21 of the percolation flux. One is actually the spatial
22 distribution and the values of the flux and the other one is
23 how much goes into the drift and the third one is how does
24 it go from the repository to the water table.

25 The test you were talking about before with the
bore hole addresses the spatial variability of it and now

1 you're talking about the drifts, and there are several
2 things that have been proposed to do and I'm sure that DOE
3 and others are going to be evaluating this year, has to do
4 with the niches, like, for example, drilling in each and
5 then closing it off.

6 And what we have been thinking of, Joe Wang and
7 myself and others, is then also to introduce fluids on the
8 top of it and see, under enhanced flux, how it's going to
9 flow by instrumenting the needs of the site, because that's
10 going to be fairly cheap and won't cost that much.

11 And the last issue that we thought about also is
12 that the modeling that we have done with the higher fluxes
13 seems to suggest that perhaps the permeability in the matrix
14 in the repository may be higher than we get from this flux.

15 Abe may talk about that a little bit later, but all our
16 modeling with the inverse modeling seems to suggest that
17 perhaps the permeability, matrix permeability in the
18 repository area may be higher than what we measure with this
19 low flux, and that can have tremendous implications because
20 right now, the average that we estimate is roughly three
21 times ten-to-the-minus-18 meters squared or three micro-
22 Darcy, and that is sufficient to carry some one millimeters
23 per year of flux, something like that.

24 Now, if you look at conductors in parallel, you
25 know that the higher values of permeability are much more
important than the low values. You can have nine of those

1 and they don't matter, but the one that really matters. And
2 if you get -- like I've seen measurements from Laurie Flint
3 range all the way from ten-to-the-minus-18 up to maybe ten-
4 to-the-minus-60, I don't remember exactly the numbers, but
5 it substantially higher volumes there.

6 If you can only increase the matrix permeability
7 by a factor of three or five, most of this big flux in the
8 repository horizon may bypass the drifts. So this is
9 something that we want to at least propose to DOE to look at
10 through some kind of a simple measurement program, because
11 this could be very critical.

12 DR. CORDING: Introducing the water, of course,
13 gives you a feel -- gives you a picture of what happens in
14 terms of the geometry, the boundary value characteristics of
15 that hole and the fracture characteristics around it, but I
16 would think you can also gain something from just the
17 passive monitoring as well.

18 MR. BODVARSSON: Absolutely. That will certainly
19 be considered.

20 MR. WILLIAMS: Yes. And as far as what we've seen
21 in proposals that have come in, of course, we've got the --
22 I think it's the Flint and Joe Wang proposal on small niches
23 in the ESF to close off and do some of these things.

24 We don't right now have that in the '97 plan,
25 although we are taking it into consideration. '97, we're
basically concentrating on three openings, other than

1 getting the TBM out of the mountain. So we've got four
2 headings that are going at the same time to go in and do
3 some of these smaller niches, which isn't a real big job,
4 but it causes the complication of developing another
5 heading.

6 And, of course, as we do the two Ghost Dance
7 alcoves, that will give us some kind of a feel for what
8 we're dealing with possibly and there may be a possibility
9 we can isolate portions of these for these purposes. So
10 we're considering it. We know what the proposals are. We
11 know what the concept is and I will say we're thinking about
12 it, but we're giving it strong consideration.

13 DR. CORDING: Even in the thermal alcove, you have
14 the side drift there. I know you're utilizing it at present
15 for a heater test, single heater test, but perhaps that's
16 something that could be closed off at some point, too. I
17 don't know what other uses you have for it.

18 But being able to do that might be a potential --

19 MR. WILLIAMS: Yes. There might be some real
20 interesting applications there, because theoretically, we
21 will have heated it up and driven the water off, close the
22 thing off, and now watch the water come back.

23 DR. CORDING: Sure.

24 MR. WILLIAMS: That could be very valuable to us.
25 And any time we can use an existing opening for these kinds
of benefits, it's always a lot better than going out and

cutting anew.

1
2 DR. CORDING: Just cut off the end of an existing
3 opening, certainly that would be taking advantage of those
4 things and I think would be -- beats having to go on and
5 drive more tunnels, certainly.

6 DR. BROCOUM: I just wanted to add, from a budget
7 perspective, something to this discussion here. We planned
8 a budget of 300 million this year and I showed a \$325
9 million. So we have some contingency as these things are
10 worked out. We have some flexibility on the budget side to
11 incorporate some things if it's decided these are necessary.

12 So it's not a matter necessarily of trading these off to
13 other tests. I just wanted to let you know that, because I
14 didn't make that clear earlier.

15 DR. CORDING: Good. It seems that some of these
16 things -- you'd like to be doing these things as soon as you
17 can. I mean, you're starting to see some real interesting
18 possibilities here and I think having visited the project
19 with some of you and looking in the tunnels at these things,
20 I think there's a lot of people thinking in the same
21 direction on a lot of this. So I think some very useful
22 ideas are coming forth here. We're looking forward to
23 seeing them getting actually installed or placed in the
24 project.

25 One other item that you've been talking about a
little bit, Dennis, was on the -- I got the impression that

1 you were asking for a drift in the Calico Hills a little bit
2 earlier. Perhaps not the east-west, but that was sort of
3 the tenor of what I was hearing from you. Do you have any
4 comment on that?

5 MR. WILLIAMS: I never ask for additional drifts.

6 DR. CORDING: Okay. Thank you.

7 MR. WILLIAMS: What I was just trying to point out
8 is that when we're talking about the Calico Hills, we don't
9 have a whole lot of tools to utilize in dealing with an
10 understanding down there. Possibly for the UZ transport,
11 using surrogates, and we always get the discussions of
12 whether or not it's representative, but sometimes a
13 surrogate or another analog is a reasonable way to go.

14 DR. CORDING: Well, it seems that this is another
15 important aspect that I'm glad you're looking at, that
16 aspect of potential isolation or delaying of the flow
17 through the system. It's obviously an important part of it.

18 Any other questions from Board or staff, audience,
19 consultants?

20 [No response.]

21 DR. CORDING: We're pretty close to being on
22 schedule, and we'd like to thank you very much for your
23 presentations.

24 MR. WILLIAMS: Thank you, sir.

25 DR. CORDING: And look forward to hearing more as
plans progress.

1 We're going to continue now with our
2 presentations. Abe Van Luik is going to be talking to us
3 about the significance of alternative conceptualizations of
4 an unsaturated flow to the system performance.

5 Abe has been the DOE team leader for looking at
6 the performance assessment, synthesis of the -- is that
7 correct -- suitability and licensing's technical synthesis
8 team? Is that correct, Dave?

9 DR. VAN LUIK: That's correct, until October 26th
10 when we change all names. Basically, I'm the team leader in
11 charge of performance assessment. My objective today is to
12 provide you a snapshot of the first preliminary evaluations
13 of the system performance and the implications of one of the
14 conceptualizations, and that's actually the most recently
15 completely by the project.

16 I'd ask Bo not to leave the room because he's the
17 one who gave us this realization.

18 What I'm going to tell you about is the
19 unsaturated zone flow model. Basically, I'll be talking a
20 little bit about the flow model case that we evaluated and
21 one of the reasons that we keep saying preliminary results,
22 preliminary interpretations is because the unsaturated zone
23 flow model case itself was preliminary. Bo has since done a
24 few more. And, also, the TSPA calculation to total system
25 performance analysis that we did itself was preliminary.

We basically made modifications to TSPA-1995, the

1 total system performance assessment, that we published early
2 in 1996, which we have presented to the Board before. We
3 made up three cases to look at, to look kind of at the range
4 of uncertainty and we'll be giving you some preliminary
5 results and preliminary interpretations.

6 Again, some caveats. This is work in progress and
7 only a preliminary example is available at this time. Even
8 as we speak, a second example has been worked up, but there
9 just wasn't time to get it into this presentation.

10 We created from TSPA-95 a reasonably conservative
11 case, a reasonably optimistic case, and a reasonably
12 pessimistic case. The reason I use the word reasonably is
13 because we didn't use the 50th percentile case and then 99th
14 and a .01. I think all of these three cases span reasonable
15 ranges of assumptions.

16 We took the representative columns from the same
17 representative columns that we used in TSPA-95 out of the
18 1996 iteration of the UZ flow model, which you have just
19 heard a lot about, with spatially variable infiltration.
20 The average percolation flux at depth for the repository was
21 seven millimeters per year and we used Bo's dual
22 permeability model to define fracture matrix flux and
23 velocity distributions.

24 We have an upside down -- no, it's nothing you can
25 do anything about. It went upside down into the color xerox
to put the heading on it. Some things I'm just not good at.

1 But I think the picture that you get here is these are the
2 six points which we use in TSPA-95 as representative of six
3 regions that were definable as having different
4 stratigraphies and other properties.

5 If you look at the average flux covered by those
6 six points, it's right around that seven millimeters per
7 year average. The overall model, if you take the whole area
8 that was modeled, is about four-and-a-half millimeters
9 average. And as Bo and Dennis both pointed out, where the
10 repository is is under the highest part of the mountain,
11 which is where the flux is also highest.

12 The sensitivity cases that we ran were based on
13 the TSPA-1995 model. That model is all set up. We can
14 punch it and run it anytime we want, and it's relatively
15 easy to modify certain aspects of it. The waste package
16 degradation, waste form degradation, solubilities and
17 retardation are all as it was in TSPA-1995. All of those,
18 of course, will need to be revisited to do a comprehensive
19 reevaluation of the mountain given the new fluxes.

20 We assumed 83 metric tons of uranium per acre,
21 which is a mass loading about equivalent to the thermal
22 loading. We calculated drinking water doses, two liters a
23 day, at five kilometers, 20 kilometers, and 30 kilometers
24 down gradients, and the primary differences in these
25 sensitivity cases from TSPA-95 is that we used velocities
for the water from the most recent conceptual model from Bo

and we did not consider this time cyclic climate change.

1 There just wasn't time to factor that into it. Although we
2 did assume a pluvial case, which assumed continuously wet
3 climate after repository closure. So it's kind of an
4 extreme case.

5 We defined a pessimistic case, where 100 percent
6 of the packages saw dripping water. I will explain later
7 why this is pessimistic and this is what Bo was referring to
8 a minute ago that I would get into, the sensitivity of this.

9 We assumed, for the pessimistic case, drips on the
10 waste form and also that advective flow directly contacts
11 the entire waste form after the first pit breakthrough.
12 This is extremely conservative and if you read TSPA-95,
13 you'll see that this was the normative case for TSPA-95. We
14 have since rethought this issue and thought that this was a
15 rather extremely pessimistic outlook.

16 We also, in this case, have flying iodine. It's
17 one of these mystical things you have to take on faith. But
18 iodine, chlorine and carbon all migrate through the
19 engineered barrier system as gaseous species and when they
20 hit the hose truck, they dissolve back into the water and
21 come down with the flux.

22 We assumed for the pessimistic case a very low
23 matrix diffusion and no back-fill. For the conservative
24 case, we looked at 36 percent of the packages seeing
25 dripping water. We used the drip zone waste package release

1 model, but here we shifted and said that it's not correct to
2 say that as soon as a pit penetrates, you have 100 percent
3 of the waste contacted advective water.

4 So we had radionuclides moving through corrosion
5 out of the engineered barrier system before it could contact
6 advective flow. This time we forced iodine to keep its
7 wings off and to come out as an aqueous specie, which we
8 think is more realistic. And we used a relatively low
9 matrix diffusion from fractures to matrix and no back-fill.

10 Next we will define the optimistic case. The
11 optimistic case has four percent of the packages seeing
12 dripping water and the four percent was based on the
13 particular realization we got from Bo for this particular
14 sensitivity study. So you can see that the 36 and the 100
15 were variations on a theme.

16 We assumed, for the first time, that 50 percent
17 galvanic protection would be in effect for the waste
18 packages, meaning half of the outer barrier would have to be
19 gone before the inner barrier is susceptible to corrosion.

20 We invoked our cladding degradation model to
21 reduce the release rates and we used the same release model,
22 the same assumptions for chlorine. We have more moderate
23 matrix diffusion from fractures to the matrix and in this
24 case we assumed a back-fill. The only purpose that the
25 back-fill served is to keep heat at the waste package
surface a little bit longer.

1 The conservative case, pluvial climate, we only
2 ran one case for the pluvial climate. We assumed that 53
3 percent of the packages saw dripping water. We assumed that
4 the matrix flow and pore velocities increased by a factor of
5 three; same assumption as in TSPA-95. We also assumed, and
6 this may be a tad controversial, but we thought with this
7 much flux, especially since flux goes higher as you go up
8 gradient in the water shed, that the saturated zone flux
9 would also increase by some amount, and all of the other
10 assumptions are the same as for the other conservative case.

11 Next, I wanted to talk a little bit about why we
12 picked five kilometers, 20 kilometers and 30 kilometers for
13 the calculations. The five kilometer is the old 40 CFR 191
14 accessible environment boundary. That boundary, as someone
15 pointed out this morning, would make more sense if it was
16 elongated in the direction of groundwater flow, but the
17 definition of 40 CFR 191 is five kilometers from the
18 farthest extent of the repository boundary, and that's right
19 in here somewhere.

20 We also chose 20 kilometers because that's the
21 approximate fence line if you go down gradient, the best
22 that our models indicate. It's about the fence line and
23 there is actually some human habitation right about here,
24 where there's a crossroads. And then we chose the 30
25 kilometers because that's actually where the Amargosa Farm
area is here and where there is active pumping of

groundwater for domestic and agricultural purposes.

1 And this is where we need to go to both at the
2 same time. In case you remember TSPA-95 extremely well, you
3 will realize that it did not have an optimistic case, the
4 conservative case, and a pessimistic case. But we used the
5 exact setup of TSPA-95, imposed the assumptions that you saw
6 in the previous viewgraphs, and recalculated it to show
7 these kinds of results.

8 Over here on the other viewgraph machine you see
9 the results using the UZ flow model that was described by Bo
10 a minute ago, and there we defined the optimistic case,
11 conservative, pessimistic, and also we calculated the
12 pluvial case at 20 kilometers only because we made some
13 assumption that at 20 kilometers, the water table would be
14 very near the surface.

15 If we look at the difference, for the optimistic
16 case, you see that there is no difference between the two.
17 If you look at the conservative case, you can see that there
18 is an order of magnitude enhancement of the millirems per
19 year calculated using the UZ flow model of 1996 versus TSPA-
20 95, and then the pessimistic case, also, an order of
21 magnitude increase.

22 I believe one of the things I should point out
23 here is these are drinking water doses. We used ICRP-30 to
24 convert the water concentrations of radionuclides to a
25 drinking water dose. We did not do the correct assessment

1 to look at the safe drinking water compliance because for
2 that you have to use ICRP-2, which gives very different
3 results. We also did not do a total dose which we believe
4 may be required by the EPA if their new standards goes
5 through, as we have heard that it contains those kinds of
6 provisions.

7 So these were done strictly to allow this
8 sensitivity analysis to take place. These were not
9 calculations that looked either at compliance with the Safe
10 Drinking Water Act or compliance with the EPA standard as we
11 think it's going to come out, and it's good to keep that in
12 mind because these numbers should not be used for any kind
13 of compliance comparison.

14 Now, we have the same thing for 100,000 years.
15 And I apologize. In all my proofreading of numbers on
16 charts, it never occurred to me to proofread titles. But
17 the one on this side with, unfortunately, the lower numbers
18 is the TSPA-1995 case and that is the case using the UZ flow
19 model.

20 As you can see, for 100,000 years, for the same
21 distances, for the same stylized calculations of two liters
22 a day using ICRP-30 dose conversion factors, we have very
23 low doses for the optimistic case. We have probably a four-
24 fold increase for the conservative case and we have about a
25 three-fold increase for the pessimistic case, and then the
pluvial case is, again, featured in here.

1 What we're going to do now is go through the dose
2 history plots for each of these cases so that you can see
3 what the actual effects of these things are. Again, this is
4 a two-viewgraph thing for each one.

5 On the right, you will see the pessimistic case,
6 TSPA-95, and on the left you will see the pessimistic case
7 using the 1996 UZ flow model. You can see that there is a
8 whale of a difference in the distance from five to 20
9 kilometers and not much of a difference in the distance from
10 20 to 30 kilometers. This, of course, is all dependent on
11 the saturated zone flow model that you use. We use the same
12 exact one as in TSPA-1995 for these cases, except for the
13 pluvial case, as you'll see in a minute, and it is yet to be
14 determined whether or not that is the correct model for our
15 saturated zone.

16 The first version of the official project
17 saturated zone flow model was just delivered to the project
18 office a month ago and, of course, we will be abstracting
19 and putting that into our TSPA next time.

20 But if you can look at these, you can see that in
21 the -- using the higher fluxes brings the doses in earlier
22 and somewhat higher, just as in the chart previously shown.

23 The peak on the left side of the 1996 model is the
24 technetium and iodine peak and then if you can imagine,
25 neptunium coming up from the bottom sort of in this
direction, neptunium takes over for the 100,000 years later.

1 If we can go to the next and look at the
2 conservative case. I asked Bob Andrews, who was in charge
3 of doing these calculations, what would you say about these
4 and he looked at them and he said earlier and higher. So if
5 I seem to be repeating myself, it's because each of these
6 shows the same thing.

7 For the conservative case, you can see that we
8 have dropped down quite a bit. It's still a large
9 difference from five to 20 kilometers. From 20 to 30
10 kilometers is a smaller difference. The primary
11 radionuclides contributing are technetium and iodine in the
12 10,000 year timeframe and neptunium coming in in the 40 to
13 50,000 year timeframe.

14 Again, with the new flow model, they come in
15 earlier because of more rapid flow through the unsaturated
16 zone largely and they come in somewhat higher.

17 We can go now to the optimistic case, my favorite
18 case. Here we have exactly the same phenomena again, except
19 the doses here are much lower for much longer times, because
20 basically the release rate from the engineered system is
21 much slower.

22 Now, what this tells us is if we -- if we want to
23 make a case for the system, we need to pay some attention to
24 the processes that we invoked for this optimistic model,
25 because the optimistic model takes advantage of galvanic
protection, which the engineers say is a real process, while

1 we need to demonstrate that the process is real for the TSPA
2 VA and LA.

3 We invoked our corrosion model for cladding. We
4 will also have to demonstrate that. Basically, I believe
5 and it's my gut feeling that the TSPA VA is going to come
6 out somewhere between this case and the conservative case,
7 because I do believe that we have reason to believe that the
8 conservative case is conservative.

9 If we can go to the pluvial case, yes, and it's
10 all by itself. I think we're done with the two projector
11 thing now. The pluvial and non-pluvial case, it is of no
12 great surprise that in the pluvial case, the radionuclides
13 come in a little bit earlier. It is somewhat of a surprise
14 that they don't come in really any higher. I wouldn't say
15 there's any significant difference between those two peaks.
16 And then when we see the neptunium peak in the pluvial case,
17 it comes in much earlier and I would say there's also no
18 significant difference between those two peaks.

19 So it's a matter of timing for these cases when
20 all things are held the same except for the fluxes.

21 If we can go to the wrap-up. What's the
22 significance of all this work? The case that we ran had an
23 increased percolation flux and an increased bulk average
24 matrix permeability. That is important. It's not just an
25 increase in flux.

The increased percolation flux decreases the mean

1 unsaturated zone advective travel time. I think that's
2 obvious because things are coming in earlier. The higher
3 flux may increase the percent of packages likely to
4 encounter seepage. However, high permeability may decrease
5 the percent of packages likely to encounter seepage because
6 high flux is likely to stay in the matrix if the
7 permeability is there to handle it.

8 The higher flux, as the question indicated before,
9 may decrease time of reduced humidities. Thermal hydrology
10 effects were not properly reevaluated for these cases.
11 Another reason to call them preliminary.

12 The higher permeability may increase the time to
13 initial breakthrough of radionuclides, depending on the
14 percent of flux in fractures. Finally, as I said before,
15 this is work in progress. It's a snapshot in time. We're
16 not done yet.

17 Let me illustrate this point in the middle right
18 here. For this particular case, with a very high matrix
19 permeability, a fracture was modeled and a 28 millimeter per
20 year pulse was put in and after 10,000 days, it was going
21 around the opening which had 100 percent relative humidity.

22 It was not dripping into the opening. That's for 28
23 millimeters a year pulse.

24 For the same exact conditions, if you want to see
25 dripping, you have to push it up to a 180 millimeter a year
pulse. This is an interesting sensitivity study on matrix

1 permeability and how matrix permeability can determine
2 whether or not you have fracture flow. Obviously, this
3 points to something that we need to know and Bo pointed out
4 also that one of the things that we need to get a handle on
5 is what is the bulk matrix permeability.

6 So with this very optimistic viewgraph, I will
7 leave you and, of course, you're speechless and have no
8 questions.

9 DR. CORDING: Don Langmuir has one.

10 DR. LANGMUIR: Surprise. Looking at your
11 cumulative dose plots, I'm going to get in some arguments
12 with this, I gather, at Livermore in a couple of weeks, but
13 I'm looking forward to them. My old friend neptunium. As I
14 understand from what you're telling me, and I think I've
15 known this before the discussion today, neptunium is going
16 to come in at 100,000 years or plus or minus a few tens of
17 thousands as the dominant contributor to dose and then carry
18 the plots further on.

19 I gather, and I can't -- maybe I shouldn't say
20 this yet, but I'm understanding that some work being done at
21 Los Alamos suggests that the neptunium is at maybe ten-fold
22 less soluble than these models are assuming as neptunium 5.

23 The stuff I'm coming up with suggests that maybe it's three
24 or four orders of magnitude even less soluble than that.

25 If you go ten-fold less soluble, do you drop the
plot by one order of magnitude? Is it that simple? If you

1 to 1,000 less soluble, do you drop it by four orders of
2 magnitude, or is it much more complicated than that?

3 DR. VAN LUIK: We're all waiting for you to
4 publish your book so we can cite it.

5 DR. LANGMUIR: Six weeks.

6 DR. VAN LUIK: Six weeks. Okay. The Los Alamos
7 transport model, in fact, is not what we used here. We used
8 the same transport model as in TSPA-1995. If we invoke
9 their model with lower solubility and with a better picture
10 of the transport properties of neptunium, in fact, that peak
11 drops down to the point where the technetium/iodine peaks,
12 which come very early, become the dominant peaks. You are
13 correct.

14 This was based on TSPA-95, the way it was set up.
15 And for TSPA VA, of course, we're going to be dealing very
16 closely with the Los Alamos folks to make sure that we
17 properly incorporate all of the parameters the way that they
18 have determined them, and they will be reading your book as
19 soon as it's published, I'm sure.

20 DR. LANGMUIR: One related question. Does the
21 solubility of uranium have any influence at all on any of
22 this dose stuff? I'm gathering it's not important enough,
23 although I've read some TSPA studies which suggest that
24 within 50,000 years or so, there was a uranium factor
25 contributing significantly to dose.

I can knock it down by three for you, if that will

1 help.

2 DR. VAN LUIK: The solubility of uranium does have
3 a determination on the release of radionuclides that are
4 congruently soluble with the uranium matrix, that's true.
5 Of course, you would have, in the down side of these graphs,
6 you would have a general lowering of all of them if you
7 brought the uranium solubility down.

8 However, it doesn't seem to affect too much the
9 technetium and iodine, which we model conservatively, I
10 believe, as being solubility limited rather than matrix
11 dissolution limited.

12 DR. CORDING: Other questions?

13 DR. LANGMUIR: I guess I had one other unrelated
14 question. Of course, when you go from conservative to non-
15 conservative to pluvial, you've got plots all over the map.

16 DR. VAN LUIK: Yes.

17 DR. LANGMUIR: And depending on what the standards
18 are that we discover coming out of EPA shortly, we'll then
19 have those in some perspective. But it made me think. Are
20 we in a position or will we ever be in a position really to
21 say we don't need defense-in-depth? The DOE is talking
22 about cutting back on certain kinds of studies which provide
23 the engineered barrier system defense that some of us
24 thought we should have, including back-fills and that sort
25 of thing, suggesting that they have enough.

And I worry that when there's this much kind of

1 noise and this large set of uncertainties carried through,
2 are we ready yet to say we don't need to have defense-in-
3 depth and keep considering all the other ways to engineer
4 our system to minimize release?

5 DR. VAN LUIK: You're asking for a -- Dr. Brocoum
6 will address this question.

7 DR. BROCOUM: I assume some of this will come up
8 in the engineering talks. We just completed our system
9 study, which I just signed out, I think, yesterday or the
10 day before, an engineered barrier system study and
11 unfortunately that study used the lower flux rates of .1
12 millimeters per year.

13 So the end result of that study was that we're not
14 going to, at this time, preclude, for example, back-fill or
15 other engineered enhancements from the design. I'm not sure
16 where you got your information that we're cutting these
17 things out, because it's something that I'm not aware of.

18 DR. LANGMUIR: I guess the funding and the active
19 effort. Maybe I'm not familiar with what's going on at the
20 moment on that.

21 MR. SNELL: Dick Snell from the M&O. I think the
22 study that Steve was referring to, I think there actually is
23 1.25, I believe, as the basis for the study. So it's not
24 quite as far off as some of these numbers as you might
25 expect.

But with regard to your question on abandoning a

1 defense-in-depth approach, from my standpoint, given the
2 vagaries, if you will, of all the work that's going on, at
3 this point in time, I would say no, we don't want to abandon
4 a defense-in-depth approach. I think the study that Steve
5 referred to helps us because it begins to identify the
6 priorities of various options we have from a design or
7 engineering standpoint and it begins to tell us now where we
8 can invest the funds with the most benefit to us in terms of
9 performance.

10 So it's a worthwhile study and I'd say we're going
11 to -- for the time being, we're retaining a defense-in-depth
12 approach. Just me talking.

13 DR. CORDING: A question, Abe. The pluvial case
14 with three times the flux, you use three times the flux.

15 DR. VAN LUIK: Yes, sir.

16 DR. CORDING: The pluvial case.

17 DR. VAN LUIK: It's 21 millimeters flux
18 continuous, yes.

19 DR. CORDING: That's the number I was looking for.

20 So 21. So you're really up -- okay. The seven was what
21 you assumed for the standard case, which is the present --
22 much higher than -- present value much higher than what had
23 been used several months ago.

24 DR. VAN LUIK: Yes.

25 DR. CORDING: We're ready, I think, for a break.

DR. VAN LUIK: There's two more questions over

here.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

DR. CORDING: Jeff Wong.

DR. WONG: Abe, your focus is on drinking water exposure. Have you done any calculations to include other potential routes of exposure other than drinking water? That is, non-drinking water use, such as irrigation or showering, washing clothes, et cetera?

DR. VAN LUIK: Yes. In fact, we have just completed, for our own internal look-see, a complete pathway analysis. We hope to have a more definitive look-see at that in the near future. But the answer is yes.

DR. CORDING: Leon Reiter.

DR. REITER: Abe, a quick question. I guess the thing -- I'm still not quite sure which knobs to turn which ways in all these tests. But there's one thing. When you presented the TSPA-95, a couple of times we asked the question, you know, at what point in the percolation flux do you start getting into trouble, and you said one to two millimeters per year.

Now we're jacking it up very high and we're not getting into trouble. Part of that may be due -- you also had a plot which showed in TSPA-95 that at one millimeter a year, you had, I think, like 45 percent of the packages were wet and that was sort of artificially limiting it.

So I'm a little confused here as to what's causing what and what's influencing what here.

1 DR. VAN LUIK: Well, the beauty of these new
2 results is that with the increased percolation flux, we have
3 an increased matrix permeability. If we have the increased
4 flux and leave the permeability the same as it was last
5 time, then all of the people in the ESF should be wearing
6 slickers right now, because it would be coming through the
7 fractures and the matrix just can't cope with it and it
8 should be totally saturated in that mountain.

9 So you can't have one without the other and
10 everything that we said previously about what point we get
11 in trouble was assuming that our matrix permeability was
12 fixed by a decree from on high. And it turns out, from Bo's
13 model, that it is not fixed and that, in fact, he is doing
14 sensitivity studies now on what matches the observations in
15 the mountain best in terms of a bulk matrix permeability.

16 And as Bo also pointed out, when you measure
17 permeability on the small plugs, you are getting a very true
18 value, but that small plug is in a context of something that
19 has hairline fractures, larger fractures, and has
20 heterogeneities from place to place.

21 So I think what we're doing is waking up to
22 reality of the mountain that you can't get by looking at the
23 microscopic pieces of it.

24 DR. CORDING: Abe, looking at that picture there
25 and your comments you just made about wearing slickers in a
tunnel which is dry, what sort of flux would it take to be

1 -- and I know it depends on the concentration of flow and
2 those sorts of things between fractures or among fractures
3 and matrix and all, but what flux would it take for us to be
4 seeing dripping in those tunnels with the present
5 ventilation system? That's a calculation I would assume we
6 can make.

7 DR. VAN LUIK: I believe it's a calculation that
8 has been done, in fact, and I'm frantically searching for
9 Bo, because these are the types of questions that we in PA
10 have been asking of the site program and if Bo can answer
11 the question. Did you hear the question, Bo?

12 MR. BODVARSSON: Yes. About the flow in the
13 drift, how much ventilation is taken away?

14 DR. CORDING: Yes. If there was going to be --
15 under the present conditions, we are not seeing dripping.
16 What would it take -- what flux would it take to cause
17 dripping under the present ventilation?

18 MR. BODVARSSON: Are you sure you want me to
19 answer? That's a tough question.

20 DR. VAN LUIK: That's why I want you to answer it.

21 DR. CORDING: It must depend on how it's
22 concentrated.

23 MR. BODVARSSON: Let me answer it this way. There
24 was a study this year that DOE supported that Joe Wang at
25 Livermore and Alan Flint from the survey jointly worked on
that did the moisture balance in the ESF. They concluded

1 from that study that the ventilation removes around 200
2 millimeters per year of water out of the tunnel.

3 They also concluded from the study that the amount
4 of water introduced into the tunnel is also about 200
5 millimeters per year. So that there is not a lot of
6 contamination from the water going into the tunnel, nor is
7 it a lot of drying from the rock.

8 Talking to Joe, he's still trying to sort out how
9 much of this could be seen. He thinks that if it is less
10 than some 20 millimeters per year, he probably wouldn't see
11 it. That was his gut feeling. But the data is not good
12 enough to say conclusively now.

13 DR. CORDING: If it were concentrated in a few
14 joints, if most of the flow were concentrated in a few
15 joints and locally, it would be extremely high -- equivalent
16 of an extremely high --

17 MR. BODVARSSON: Right.

18 DR. CORDING: -- flux that has to be picked up by
19 the ventilation system.

20 MR. BODVARSSON: Right.

21 DR. CORDING: If it's spread out, you could have a
22 lower flux that wouldn't be seen.

23 MR. BODVARSSON: Well, you know what they see in
24 the tunnel, whenever they turn off, the humidity goes off
25 and the ventilation goes off and you see water coming in
through some of the rock faults and some of the holes they

1 have there. But we cannot really conclusively answer this
2 now. This thing is continuing next year, I know.

3 DR. CORDING: Thank you. Let's take our break.
4 Abe will be back and as we all -- we'll be back here at 20
5 after.

6 [Recess.]

7 DR. CORDING: We're going to continue with the
8 second part of Abe's presentation. This part is the path to
9 an integrated TSPA VA.

10 DR. VAN LUIK: This is a similar presentation and
11 you'll be able to tell that because I'll only use one
12 viewgraph machine.

13 The path to an integrated TSPA VA and what I want
14 to talk about is the approach to the TSPA VA, and there are
15 three components to this approach, from my perspective as a
16 DOE person managing this.

17 I want to talk about the abstraction process, the
18 role of the TSPA VA peer review, all of the plan and
19 proposed expert elicitations.

20 One point that I want to make is that a lot of the
21 sensitivity analyses that were done last year, we just, I
22 think, approved a document with a title called abstractions.

23 A lot of the current and past, meaning this year's,
24 sensitivity analyses are really preparatory to the TSPA VA.

25 So we have already started working towards creating that
product.

1 Now, the objective of the planning effort is to
2 ensure that it captures the process level modeling -- I
3 believe Steve made this point a couple of times this morning
4 -- that comes from the site engineering environmental
5 functions also for the biosphere model, which was asked
6 about a while ago.

7 We want to involve external experts in a couple of
8 areas. One area is through focused expert elicitations.
9 The other one is through a more comprehensive peer review
10 process.

11 We recently completed a TSPA VA plan. That plan
12 is under DOE review right now and probably will be approved
13 or sent back for revisions next week. But it defines the
14 overall approach, the roles of the different organizations
15 and their responsibilities.

16 It discusses the method of abstraction and for
17 each process model to be abstracted, it lists the process
18 models to be abstracted and for each one of them, it gives
19 the current status of abstraction. As you can tell, TSPA-95
20 already took preliminary versions of some of these models
21 and created abstracted versions of them. So it discusses
22 that status.

23 It also discusses the 1996 work, which was to do
24 testing just to get a handle on what's important in this
25 process. It reviews NRC staff's treatment in their
iterative performance assessment, too, or in recent

1 communications, such as some of the things that they told us
2 at the technical exchange on TSPA-95. It discusses what we
3 believe at this point are the relevant uncertainties, the
4 sources of information, the expected output from the
5 abstraction process, the key personnel are suggested and a
6 schedule is given. This is all in the TSPA VA plan.

7 The reason we did this is so that when we have our
8 first meeting on a particular model, we are not starting out
9 cold looking at each other and saying, okay, how do we
10 begin.

11 We've basically already laid something out. The
12 people coming to the meeting will have looked at it and
13 we'll be ready to criticize it, because all of this, of
14 course, is from a PA perspective. So there are many things
15 probably that are relevant that we're aware of, but it's a
16 way to get the ball rolling.

17 The worst thing is a meeting where nobody knows
18 what's going on.

19 We will form abstraction and testing teams that
20 will include process model development and performance
21 assessment staff. It's important to have both of them in
22 the same place.

23 Again, the reason is to ensure proper testing of
24 these models and, in PA, a proper use of these models and
25 the appropriate bounding of uncertainties.

This morning, Professor Domenico said something

1 about you have to have honest scientists who create a
2 credible TSPA VA. I believe we have honest scientists.
3 They keep bringing us the wrong results. And we also,
4 within PA, looking at the way they work, you know, in every
5 process model, like Bo's, there are hundreds of decisions
6 that have to be made in putting a model together.

7 It is our concerted opinion, and it's only proper
8 that almost every decision that is made that goes into that
9 model is cautious and tends toward the conservative, never
10 the optimistic side. And so this is an important point to
11 keep in mind in all of this. But we want to appropriately
12 bound the uncertainties, and that's one of the reasons that
13 for certain specific models, we want to involve some outside
14 experts to give us an opinion on whether we have
15 appropriately bounded uncertainty or whether we're way too
16 conservative or, in some cases, too optimistic.

17 That's the next bullet. We want to focus TSPA
18 analyses on key attributes consistent with our previous
19 experience, the waste containment and isolation strategy. I
20 liked it better when it was just the waste isolation
21 strategy, the WIS, and then the NRC's key technical issues
22 that are appropriate to TSPA.

23 What's the schedule? The abstraction workshops,
24 they start this month. We may be a couple of weeks behind,
25 but they start very soon and they will end in the spring of
next year. We will do sensitivity analyses concurrent with

1 and after the abstraction workshops. We will document the
2 abstractions late in '97, early '98. We will do the
3 reference case analyses late '97, very early '98. The
4 sensitivity cases, January to April of '98, and document all
5 of the above and then the peer review will start calendar
6 year '97 and run past the TSPA VA, and we will get into that
7 later.

8 But you can see that PA people are going to be too
9 busy to go to parties for the next little while. Don't
10 invite them.

11 Why do we want to abstract? Well, TSPA results
12 have to properly reflect results from the highly detailed
13 and computational intensive site and engineered system
14 process models. One of the criticisms that we deservedly
15 have had for TSPA-91, 93, and, to some extent, 95, is that
16 the work being done at Los Alamos, the work being done at
17 LBL, and other process modeling, we looked at that, we
18 interviewed the people doing it, and we built our models
19 based on that. That is not how you build a defense-in-depth
20 for a model.

21 But it is neither efficient nor reasonable, in our
22 view, to incorporate all that complexity in each of these
23 process models in a probabilistic TSPA calculation. A lot of
24 the runs that we do to create these dose histories, for
25 example, they're either 100 or 1,000 runs. We'd have to
start calculating now to do -- to incorporate all those

models as they are.

1 So we use abstracted models as a surrogate for the
2 more comprehensive process models, but the reason we are
3 going through this formal abstraction process is because we
4 have to maintain the essential elements of the process
5 models, including the key interdependencies.

6 This is the challenge of the whole abstraction
7 process and why it is so important to do it right, to
8 document it and to have it reviewed.

9 The models that we are particularly interested in
10 paying attention to in the abstraction process involve
11 almost everything; waste form degradation and mobilization,
12 waste package degradation, the near-field environments and
13 all of the linked processes that go on in that environment,
14 like the thermal hydrology, unsaturated zone flow, saturated
15 zone flow and transport, and unsaturated zone transport, the
16 biosphere model that leads us from these drinking water
17 doses to a more proper total dose, and then also the
18 disruptive events, low probability, potentially high
19 results, volcanism, tectonism, and criticality.

20 The teams that we are going to set up will always
21 have a TSPA core team, which is the particular analysts from
22 TSPA that are involved, and, of course, management. I think
23 Bob Andrews will be a part of every group.

24 The objective is to ensure the utility of the
25 results for use in TSPA. This is a very utilitarian

1 approach from PA's part; in fact, PA is insisting on this
2 approach at the expense of work that could be done by the
3 site and the engineered system people to improve their own
4 models.

5 We want to integrate results from all abstraction
6 testing activities. The abstraction core team has a
7 performance assessment modeler, a representative of this
8 core team, and then site and design representatives, and
9 this is plural, depending on the model, we may have two or
10 three representatives of that model.

11 And the core team is to plan and manage the
12 abstraction and testing activity. The one thing we do not
13 want to do is spawn a lot of sensitivity analyses that two
14 teams are going to be doing simultaneously. We want to
15 agree on what needs to be done and then assign that work
16 out, so there is no duplication of effort and we will review
17 each other's work to make sure that we agree that it was
18 done properly.

19 The work scope, and the reason we're going through
20 this in some detail is because it seems to be of great
21 interest to you and I hope that everyone is staying awake.
22 The preparation and planning is to -- I told you a minute
23 ago about the current information that we've compiled. We
24 want to expand and summarize that current information,
25 including the perspective of the people doing the process
level modeling. Up to now, this has all been done by PA

1 people. Develop information in the current abstraction
2 status of that process, select the workshop participants,
3 and disseminate information from these activities to those
4 participants, plan and schedule the workshop, and then
5 synthesize comments and suggestions generated by the
6 workshop.

7 Getting to the workshop. We will present to the
8 workshop participants the current TSPA representation of the
9 process, the current state of the process information. Then
10 we will develop and prioritize a list of analyses to refine
11 and enhance the TSPA model, and then the workshop will
12 select analyses, schedule the activities to do those
13 analyses, and define the resources required, and conduct the
14 analyses.

15 It's important that the people doing all the
16 developing, planning and selecting are the same people that
17 do the analyses, I believe. Otherwise, we just have
18 hierarchy upon hierarchy. These are workers.

19 What do we want from the different models? For
20 the unsaturated zone hydrology -- and these are key outputs.

21 There are more outputs in the actual document that
22 describes this. We want percolation and seepage flux, a big
23 discussion just a while ago, thermal hydrology, humidity and
24 temperature over time, waste package degradation, we need to
25 have some idea of containment time, time of failure,
radionuclide mobilization, solubility, diffusive and

1 advective flux, and this group here will be studying your
2 book.

3 Unsaturated zone transport, advective velocity
4 distribution, saturated zone hydrology, the dilution factor.

5 As was pointed out, you have a lot of dilution from five
6 kilometers to 20 kilometers, what's the basis for that. The
7 bias is running the TSPA-95 saturated zone model perhaps out
8 further than it has a real basis for, but we will fix that
9 by incorporating properly the site program saturated zone
10 hydrology model. Biosphere, give us the proper dose
11 conversion factors, the proper boxes to fill in as far as
12 what -- not everything in a generic biosphere model would be
13 applicable to the Yucca Mountain site. For example, the
14 fish pathway from lakes is not going to be applicable. And
15 then look at the probabilities and the potential effects of
16 disruptive features and events.

17 The flow diagram basically goes over what I just
18 said, except for some people, it's easier to visualize this,
19 but you can see that there is a logical place for all of
20 this input. This -- you know, we have been jumping up and
21 down saying this is not an easy process. But it's a very
22 important process to make sure that the TSPA VA -- and this
23 is a model for the TSPA LA -- that these two products reach
24 right down into the basic work that was done by the project
25 on the site and in the lab to make sure that the TSPA
properly reflects that work, our understanding, and those

results.

1 The next viewgraph is the workshop dates, and it
2 says proposed. These are the ones that we are proposing in
3 the TSPA VA plan to the participants in these particular
4 workshops. They are not fixed by any means, but we would
5 like to stick to somewhat a schedule that looks like this,
6 and there is no sense for me to read this to you, but it's
7 given you as a first look-see of what we're planning.

8 Moving right along to the second phase of ensuring
9 that we have a TSPA VA that has some credibility. It will
10 be reviewed in depth using a combination of expert
11 elicitation to look at focused issues and a peer review to
12 look at the general issues. The peer review, as was
13 explained this morning, is to look at the TSPA VA process
14 and then give us guidance for the development of the TSPA
15 LA.

16 This morning the question was asked why do you
17 have the TSPA peer review completed at this point when
18 you're doing TSPA sensitivity studies later. The
19 recommendations from the TSPA peer review panel, from
20 looking at their experience with us in creating the TSPA VA,
21 should include recommendations on where we need to do
22 additional sensitivity analyses and to put additional
23 resources to basically beef up the product. So that's why
24 these lines are going straight from the TSPA peer review to
25 the TSPA sensitivity analyses for the license application.

1 This is the way we have planned it so that this
2 bridges from our experience in creating the VA to give us
3 direction on how to do the LA in a more defensible manner.
4 So this is actually planned this way on purpose.

5 We have four key phases for the peer review. This
6 fiscal year, we will convene the panel and introduce the
7 program in an orientation phase. We will introduce then,
8 the following fiscal year, to -- they will have a lot of
9 homework here. It's not like, you know, we're going to meet
10 once and then we don't see them for a year. We will be
11 meeting with them to introduce them basically to everything
12 we've done so far and what the basis is for what we have
13 done.

14 Then they will review the process models and the
15 scenarios that are to be modeled for the TSPA VA. They will
16 look at the results, they will look at probably a few of the
17 abstraction workshops, and then look at the overall process
18 and how we're folding that work into the PA models in the
19 '98 timeframe, and then they will review the TSPA VA, they
20 will give us a quick look in the middle of '98 on what their
21 general impressions are, but their basic purpose is to
22 prepare guidance for us to use to modify this process and
23 beef it up in areas to produce in TSPA LA.

24 This is the schedule. The orientation phase
25 starts very soon. Just this week, we are preparing to send
out the first letters inviting people to nominate peer

1 review panelists. The orientation phase, as I said, will
2 take place during this fiscal year, to be followed by an
3 abstraction phase the next fiscal year. The viability
4 assessment comes in here. They are reviewing the product
5 even before it is absolutely completed. So there is some
6 time for them to make recommendations and, in fact, as they
7 are watching this process, as they are looking at what has
8 gone on in the past, unless I completely misjudge the type
9 of people that we're going to use, they are bound to make
10 recommendations and observations along the way that we can
11 still implement in this process for the TSPA VA.

12 But the main purpose is to give us recommendations
13 on how to do the TSPA LA, because after all, from our
14 perspective, the TSPA VA is a dry run for the TSPA LA, which
15 is the real thing.

16 What have we done so far? We have prepared letter
17 requests to various professional organizations for
18 nominations. We have defined technical specialties that are
19 going to be needed and as soon as get replies from these
20 letters, and I believe they will go out this week, some of
21 them, we will select peer reviewers from the list of
22 nominations considering their expertise, interests, and
23 availability.

24 Then we will let contracts for the panel members
25 and we will nominate and negotiate a chairperson, and
according to our procedures, that chairperson, with us,

1 develops a peer review plan that will implement all of the
2 above.

3 I will describe very quickly the orientation
4 phase. We will introduce into TSPA-91, particularly the way
5 that it handled volcanism; TSPA-93 in the way that it
6 handled the secondary effects of volcanism; TSPA-95 and the
7 subsequent modeling activities, like the material that was
8 just shown to you here, because we have done in 1996 a lot
9 of subsequent modeling and a lot of sensitivity analyses and
10 a lot of abstraction analyses.

11 They will review these modeling activities in
12 detail and make preliminary observations on the modeling
13 plans and the documentations approach and assumptions for
14 TSPA VA. So they will be almost like a steering group in
15 the very first phases to give us general observations on
16 what they think we're doing right or wrong.

17 For the scenario and process model phase, we will
18 introduce them to those models and we will have them -- we
19 will help them review the current state of the process
20 modeling. Then they will issue an interim letter report
21 with their impressions on the TSPA VA and recommendations
22 for the TSPA LA in the 6\98 timeframe.

23 For the abstraction phase, we will present them
24 the updated process level models as they become available
25 for TSPA VA. The panel will review these models and the
abstraction process that converts these models into PA

1 input, and that letter report that I mentioned a while ago
2 will also include their impressions and recommendations for
3 the LA.

4 The actual peer review phase, this is the classic
5 peer review phase, they will, slightly ahead of the VA, look
6 at the document as it is being pulled together and issue an
7 interim letter report with their impressions at the same
8 time that the report comes out. Then they will continue for
9 quite some time and conclude with a final report with
10 recommendations for the LA.

11 We will use that as guidance for the TSPA LA. And
12 the reason we say guidance is that, you know, they may make
13 300 recommendations, of which there's only time, resources
14 and realism enough to implement 200 or something. So we
15 always run somewhat of a risk of having a peer review that
16 either recommends too much or too little, but we will
17 definitely use everything they give us as guidance.

18 Moving right along to the expert elicitation plan.

19 The purpose is to quantify and document the uncertainties
20 in the process model to strengthen the TSPA VA, and this is
21 the issue that I was speaking of a while ago that we have
22 great confidence in our process modelers, but we suspect
23 that, at every turn, they are somewhat conservative.

24 We want to quantify the uncertainties that are
25 introduced by the interpretation of the data all the way to
the creation of the models. We want to focus only on those

1 process models that are very significant to total system
2 performance. So there's a limited number that we are
3 proposing of these elicitations.

4 We want very small-scale focused elicitations
5 approximately of six months duration each. The panels will
6 have five to six experts and will include project experts
7 and external experts.

8 We will follow the nine-step process outlined in
9 the NRC's branch technical position on the use of expert
10 elicitation. We think it's a fine document, a fine piece of
11 work.

12 The approach is to complete the first elicitation
13 and that will be on Bo's model, unsaturated zone process
14 model, and then propose, actually in the middle of that,
15 propose the additional elicitations, waste package
16 degradation, waste form dissolution, drift scale thermal
17 hydrology, unsaturated zone hydrology.

18 The unsaturated zone expert elicitation. We want
19 to look at the spatial and temporal distribution of the
20 percolation flux. We want to focus on infiltration,
21 basically the work done by the USGS that was input to Bo's
22 model. We want to look at methods to characterized
23 unsaturated fractured rock. We want to look at the analysis
24 and numerical modeling of fluid flow in variably saturated
25 rock and then to quantify the data and modeling
uncertainties.

1 This is an approximate schedule for this
2 elicitation. We have already sent out letters asking for
3 nominations to the panel. We hope to have our first
4 workshops in November to discuss data needs, models and
5 their interpretations, and then receive feedback. And the
6 final report, of course, comes after the feedback, in the
7 May timeframe. But we hope to be able to run with this
8 feedback and start making changes in the model.

9 The status. We have developed, for the first one,
10 the unsaturated zone expert elicitation, an implementation
11 plan. It defines the panel selection criteria and the
12 process to be followed. The letters went out and panel
13 selection will begin as soon as we start receiving or as
14 soon as we receive a critical number of returns to our
15 letters.

16 This is a proposed expert judgment schedule.
17 Unsaturated zone here, waste package degradation, thermal
18 hydrology, waste form dissolution, saturated zone hydrology.

19 Here is the viability assessment. As some of you who are
20 astute may observe, there is not much time between the
21 saturated zone hydrology panel and the viability assessment.

22 These are still flexible and we may actually be able to
23 either eliminate one or double up the schedule a little bit
24 so that we have a little bit more time from the end of this
25 assessment to the viability assessment.

But as I pointed out before, as soon as the panel

1 is done and has verbally given us the recommendations, even
2 though we give them three months to write up their final
3 report, we basically have their input and we can start
4 working with that input.

5 So I'm sure there are no questions, as it's very
6 clear.

7 DR. CORDING: Thank you, Abe. Clarence Allen.

8 DR. ALLEN: I note that five of your workshop
9 dates are scheduled for December. Do you think it's really
10 possible to find outside peer reviewers who are going to be
11 available that soon?

12 DR. VAN LUIK: The workshop dates that you're
13 looking for were the abstraction workshop dates. Those are
14 neither -- neither the peer review nor the expert
15 elicitation will be part of that. This will be internal and
16 we drive our people with whips. I mean, if we want to have
17 five meetings in December, by God, they will be attended and
18 held.

19 DR. ALLEN: Thank you.

20 DR. VAN LUIK: But as I said, this is a
21 preliminary schedule, yet to be negotiated with the
22 participants, and we really don't treat people that way.

23 DR. CORDING: Jared Cohon.

24 DR. COHON: I had a question that arose during
25 Steve Brocoum's presentation which I thought you might have
clarified, which is why I didn't ask it then, but I'll ask

it now.

1 He showed something called a TSPA model hierarchy,
2 which has at the top total system performance assessment
3 model, performance assessment models, then the abstracted
4 process. I don't understand the difference between the top
5 two hierarchy levels, the performance assessment models
6 below, total system performance assessment model. What's
7 going on?

8 DR. VAN LUIK: What's going on there is that we
9 have, for example, we use RIP as the overall total system
10 performance assessment model. We could use TSA, as well, as
11 we did in '91 and '93, but RIP, I believe, will be our model
12 of choice for TSPA VA.

13 DR. COHON: And what does RIP stand for?

14 DR. VAN LUIK: That's the repository integration
15 program, because otherwise it wouldn't be RIP, it would be
16 RIM. But it's basically a model created by Golder
17 Associates for DOE and it is an extremely complicated
18 spreadsheet into which we abstract all of this information
19 and put it in time phase and spatial phase and run the code
20 basically the way it was demonstrated for TSPA-95.

21 Now, the inputs to that model come not only from
22 process level models, but they also come from subsystem
23 models, like YMIM to look at the -- I have to -- it's Yucca
24 Mountain integrating model, which is a Livermore product,
25 which can be used to look at nuances of the engineered

1 system. We have ARREST-CT now available to us, which is a
2 numerical version of the ARREST code, in which you actually
3 look at geometric issues within the near-field environment
4 and the engineered system. And those types of models really
5 are not process level models at all. They are ones that
6 integrate process level models to a next higher step for
7 subsystem performance assessment. So that's what that
8 second box meant. And it's a little confusing, I agree.

9 DR. COHON: Are all process models -- do they all
10 wind up in one of those subsystem models or do some go
11 directly, after abstraction, to the --

12 DR. VAN LUIK: Some go directly after abstraction
13 into RIP.

14 DR. COHON: Okay.

15 DR. VAN LUIK: For example, in the TSPA
16 calculations that I just showed you -- should I stop right
17 there by just saying yes?

18 DR. COHON: Yes is good enough, because I have
19 other questions. Could I?

20 DR. CORDING: Please, go ahead.

21 DR. COHON: You showed the table with the key
22 outputs from the abstraction, from the various process
23 models. For example, containment time. I assume that each
24 of these is a function of some thing or some things. It's
25 not just a number or even a set of numbers over time, but
functions. Is that right?

1 DR. VAN LUIK: Yes. These are all functions and
they will be input as functions, yes.

2 DR. COHON: All right. One of the things that I'm
3 concerned about in the presentation, and I don't know if
4 it's a real concern or because of the press of time you have
5 to abstract from your process models, this thing goes in one
6 direction. That is, you start with the process models and
7 you wind up with TSPA and never did I see that you would
8 ever go back and go back in two ways.

9 I mean, one is, okay, you now have this result
10 from TSPA. A question that arises, should we believe this
11 result in terms of specific processes, and the process
12 models that you started with are better in answering that
13 question than TSPA would be.

14 The other, kind of going back, though, is to take
15 what you learn from the TSPA process and go back and do more
16 work on the process models, which might be -- which might
17 come out of the TSPA process itself. Can you comment on
18 that?

19 DR. VAN LUIK: Yes. I'm glad you gave me the out
20 you gave me right at the start. Of course, I left those out
21 because of the press of time. But one of the functions of
22 the whole abstraction process and the participatory thing is
23 to delineate sensitivity studies of the process level model
24 itself and its abstraction to make sure that their results
25 are in sync and that the major processes have all been

captured.

1
2 Then as we put that into the TSPA model, of
3 course, we will again run that and run sensitivity cases to
4 focus on the aspects that came from that process model and
5 make sure that in two different levels, we have captured it
6 appropriately. But that's what the whole abstraction give
7 and take is all about, as you will see when you attend our
8 December meetings.

9 DR. COHON: Yes, I'll be at every one. Actually,
10 since you raised that, are these open to people other than
11 the team members?

12 DR. VAN LUIK: As soon as I said that, I realized
13 I stepped in something. These will be internal working
14 meetings of the project and I would have to go to a reading,
15 to Steve, I believe, to see. The abstraction process, in
16 and of itself, is just a working process. Of course, the
17 peer review and the expert elicitation are going to be open.

18 We're going to ask people to nominate a person to follow
19 that process, but we don't want a gallery at each one
20 either.

21 DR. COHON: Sure.

22 DR. VAN LUIK: So it will be a -- but I never
23 really considered whether the abstraction process meetings
24 would be interesting enough for people to attend. I believe
25 the orientations might be interesting for you to send a
staff member to. I personally have no objection. I just

1 don't know how we conduct business, because these are not --
2 these are working meetings. They're not show-and-tells

3 DR. COHON: I understand.

4 DR. BROCOUM: These are working meetings. It's
5 not a public meeting. We're not going to notice the
6 meeting. So they're working meetings. That's, I guess, the
7 best way I can describe it right now. It's not a meeting
8 like this meeting is here. It's really a meeting, an
9 internal project meeting to get the work done.

10 DR. COHON: Let me go on. Just stop me when I run
11 out of time, Ed. Abstraction core teams, are these going to
12 be chaired by someone from the TSPA group? Is that the
13 person who is sort of going to be pushing the train?

14 DR. VAN LUIK: My guess would be, in most cases,
15 that would be the case, unless we have a volunteer from one
16 of the other participants that wants to take a lead of it.
17 Basically, as I said, this is being driven as a need from
18 PA. So PA would want to be in charge.

19 DR. COHON: Could you tell us or provide to us the
20 list of the professional organizations that you have
21 requested nominations from?

22 DR. VAN LUIK: The list is about ten or 12 long
23 and I was shown it in a flash to say is this okay. No. If
24 I began rattling off some names, I would leave off a whole
25 bunch and offend everybody in the room probably. But
perhaps Jean can tell you.

DR. COHON: Another question about timing.

1
2 MS. YOUNKER: I can just say -- Jean Younker, the
3 M&O. We can just get that list of -- I think it's in a
4 formal letter, so we can just get a copy of the list for
5 you, if you're interested in who we were requesting names
6 from.

7 DR. COHON: Thank you. Back to this delicate
8 timing issue you have with TSPA VA and VA itself. If your
9 peer reviewers perform as you hope and they give you a lot
10 of substantive things to follow up on and assuming that
11 that's going to be part of the public documents that go
12 along with the VA, how do you simultaneously claim
13 credibility for TSPA VA which supports the VA determination
14 and say, well, we've got these 300 or 150 things that we
15 still have to do to make this thing really support
16 decisions?

17 DR. VAN LUIK: It's precisely for that reason that
18 we're asking them for two products in relation to the TSPA
19 VA. One is their --

20 DR. COHON: The interim one.

21 DR. VAN LUIK: -- quick impressions, the interim
22 letter report, and we run a risk if they debunk the product,
23 there is hardly a way that we can recover from that. But
24 that's a risk that we just run using this approach.

25 The later report comes out about nine months later
and will give us, I hope, a list of things, concrete things

that we can do to improve the product for the LA.

1
2 DR. COHON: One last question. In talking about
3 the way you're going to use experts, you focused on the
4 characterization of uncertainties in the process models. As
5 we know, the abstraction process will introduce additional
6 uncertainties and the TSPA model will introduce yet more
7 uncertainties.

8 How do we deal -- what do you plan to do to deal
9 with those additional uncertainties, to characterize them
10 and quantify them?

11 DR. VAN LUIK: What we hope to get from the expert
12 groups is the ranges of uncertainties for the key inputs to
13 the TSPA VA. Once we have that range, we know how to
14 mathematically propagate it through the analysis so that
15 they will be properly convoluted in the outcome.

16 Without that, we would be basically one step back
17 from having credibility. Part of the credibility argument,
18 of course, is what are the uncertainties and if the groups
19 -- and here, again, there's an element of risk here. If the
20 groups feel that the uncertainties in the model currently do
21 not capture the total band of uncertainty that they believe,
22 in their expert judgment, is out there, then the expert
23 judgment group will cause an expansion of the uncertainty in
24 the total product.

25 But this is another reason that we appreciate
having the TSPA VA as a dry run for the LA, because it does

1 give us three years to fix a lot of holes that they see in
2 our certainty or uncertainty.

3 DR. COHON: Thanks.

4 DR. CORDING: Board or staff, other comments?

5 [No response.]

6 DR. CORDING: I think, Abe, we're complete here,
7 finished, at least at this point, and thank you very much.

8 The next topic and the last presentation today is
9 on repository operations. It's basically an overview of the
10 mine geologic disposal system operations. It's a
11 presentation by Dick Snell, who is managing integration
12 operations, and Jack Bailey, who is deputy manager in the
13 same area.

14 We're going to be talking about the repository
15 itself, the repository design, which includes the surface
16 facilities where the waste is received and processed, the
17 underground facility where the waste is disposed, and
18 related elements such as waste package.

19 I believe, Dick, you're giving an introduction and
20 summary on this. I'll turn it over to you.

21 MR. SNELL: Yes. Thank you. I'll just give a
22 quick intro, I have the easy part this afternoon, and then
23 Jack Bailey is going to take over and he will go into the
24 first portion of it. I have one chart here to launch the
25 thing.

What I wanted to do by way of introduction on this

1 one chart is just point out that the material that's going
2 to be covered by Jack in the next presentation, plus those
3 that are going to follow tomorrow morning, are all of a
4 piece. That is that Jack's initial item, the overview of
5 the MGDS, including the design approach and the current
6 status and the major technical issues, is just that. It
7 covers the whole repository operation.

8 Included in that, he will talk about a fairly
9 large number of technical issues. I think there are 13 that
10 we've identified in Jack's presentation and those 13 issues
11 are a distillation of a whole series of comments that we've
12 received from the Board, from the NRC, and from other
13 reviewers on the program, and they are those that we believe
14 right now are important ones for us to address from an
15 engineering and design standpoint. They're not necessarily
16 the only ones, but they're important ones that we can see
17 right now.

18 Then from that group, after Jack finishes that
19 initial presentation, we've selected several which we think
20 are representative and interesting at this point in time to
21 give you a little bit more detail on. So the bullets you
22 see there on retrievability, the waste package, remote
23 handling, drift stability and thermal management are a
24 subset, if you will, of that first presentation.

25 With that, I'll let Jack take over and go ahead
with his material.

1 MR. BAILEY: Good afternoon and thank you. I'm
2 going to provide an overview of the MGDS operations, and
3 this is the basic format. I'm going to talk through the
4 design phases, and I want to go back to Dr. Dreyfus' first
5 slide of the morning. I really liked his slide because it
6 showed the design stretching over the whole time period of
7 the evaluation here where we look at a VA, a site
8 recommendation or a license application, and that's exactly
9 what the engineering department is trying to do is develop
10 an engineered design throughout this timeframe, with focus
11 first on VA, that for the portions that support the TSPA,
12 that which goes on to the four criteria that Dr. Dreyfus
13 talked about, and then finally to get us to the LA.

14 As such, I'm going to talk about the different
15 phases. I'm going to give you some basics about the
16 facility itself, size, layout and such, and the waste forms.

17 Then I'm going to ask you to indulge me and I'm
18 going to try and walk you through the repository from the
19 time fuel gets there until we emplace it, so you can see
20 what a design looks like. Then I'm going to go back and
21 show you what issues arise through those various phases and
22 the 13 issues, as Dick alluded to. The issues that show up
23 that we feel we need to resolve or at least come to some
24 type of closure on so that for the viability assessment, we
25 have a basis for a design that's analyzed, costed, and
planned for in the viability assessment.

1 The repository design phases. Well, we've already
2 been through the site characterization project conceptual
3 design, 1987. You will notice the piece I wanted to point
4 out was that that was shipment by truck and a vertical bore
5 hole emplacement was the old design.

6 The advance conceptual design, which we put
7 together in March of 1996, was a compilation of a good deal
8 of design done since 1987, integrated during that first part
9 of the fiscal year, and then was basically based on the use
10 of the multipurpose container.

11 Our next effort is for the viability assessment
12 design, which is in fiscal year '98. This concept will not
13 rely on the multipurpose container. They individually
14 handle the fuel elements, as you will see later. And we
15 have to provide a design that provides a consistent basis to
16 support the performance assessment, to be in lockstep, as
17 Dr. Dreyfus said, demonstrate feasibility that the design is
18 accomplishable.

19 We need to be able to estimate costs, as he said,
20 and develop a licensing plan from that design. Our license
21 application design, due out in fiscal year 02, is intended
22 to have enough detail so that the NRC can make a
23 determination with regard to the license application and be
24 able to issue a construction authorization. And, of course,
25 it has to reflect the latest scientific and performance
assessment input. It has to be changed as we learn more

1 about the mountain and as we learn more about the engineered
2 facility.

3 And then finally I put a slide on for ongoing
4 design, which, should we receive the construction
5 authorization, is where we get down to the actual details of
6 design, details of how you implement that design for the
7 constructor to put into the mountain.

8 We have what we call the one-pass approach, which,
9 as I said, harkens back to Dr. Dreyfus' slide. That says
10 that we're going to start a design on the board. We're
11 going to focus on the VA, but that design is going to be
12 controlled and as we find we have to make changes through
13 findings from the PA, through the scientific findings,
14 through the model testing, we will make changes to that and
15 we will continually update that design. There is not going
16 to be another ACD, there is not going to be a design package
17 in which we stop and start over. There will be a design
18 which continues throughout, but we'll be able to status the
19 completion of that design at any time.

20 The advance conceptual design is our point design.
21 You'll see some of that as we go through this today. The
22 reference design for VA, when you look at our scheduling, if
23 you do, phase one is where we come through and try and find
24 all of those inputs that are necessary for performance
25 assessment. That happens basically at the end of fiscal
year '97 and by that point, the TSPA should be satisfied

with the engineering input.

1 We will provide updates throughout '98, but
2 basically by the end of '97, we have to provide that
3 information. And that's why phase two overlaps into TSPA
4 design. That phase two will also provide some of the
5 additional work that's necessary for the costing and the
6 planning. For the LA, we finish the design during phase two
7 and then we do some additional work during phase three to
8 make sure that we fleshed it out and have enough detail for
9 the license application.

10 And what are the repository physical
11 characteristics? Well, we're looking at the disposal of the
12 regulatory required 70,000 MTU and we look at around 11,000
13 five-and-a-half to six-foot diameter containers. We'll
14 place that in 120 miles of 15 to 20-foot diameter tunnels
15 and drifts, utilizing about 840 acres underground, anywhere
16 from 200 to 400 meters below the surface, based on the
17 topology.

18 The surface facilities, our current design says
19 about 29 buildings, about 800,000 square feet of floor space
20 in order to handle it, and our staffing is around 600 for
21 the surface and sub-surface operations. Remember that we
22 have to receive and, for number of years, we continue to
23 excavate the underground. Then you can see the 300 for the
24 underground drift excavation. These are numbers from the
25 ACD which we'll be working on.

1 I will point out at this point that all of this is
2 subject to change as we evolve the design.

3 This is the representative waste form data. It
4 works in three blocks, as you can see the sideways brackets.

5 What we receive is we receive waste in rail or we receive
6 or we receive waste in trucks. It can come in in a spent
7 nuclear fuel canister, one which had to be opened perhaps,
8 or we may receive it from the cask or the truck which we
9 could life directly the PWR, the pressurized water reactor
10 or the boiling water reactor assemblies, and you can see
11 that we have DOE spent nuclear fuel and we have Defense high
12 level waste canisters that could be received. That's the
13 basic fuel that we would get from the rail casks, the truck
14 casks.

15 You'll notice in the peak units per year, down in
16 the green line, you're looking at in excess of 10,000 units
17 a year that may have to be handled. A great deal. This is
18 the effect of going from the multipurpose canister design,
19 where the fuel was all going to be encapsulated at the
20 utilities, shipped to us and then all we had to do was place
21 it into an overpack and emplace it. It all is still a lot
22 of work, but now we're looking at handling all these
23 individual items.

24 And what do we emplace? We have three basic
25 canisters. We have the spent nuclear fuel, we have the
Defense high level waste, and then we have a canister that

1 combines the Defense high level waste and the DOE spent
2 nuclear fuel.

3 As a basic, this is what the facility looks like.

4 The north portal is associated with the receipt,
5 canisterizing and emplacing of the fuel. The south portal
6 is associated with the continuing excavation of the
7 facility, since it's anticipated that we'll begin to
8 emplace, as shown by the brown lines, while we continue to
9 excavate it, as shown by the green lines.

10 You will see I placed the ventilation on there
11 fairly prominently. I talk about that a couple of times,
12 since there is 120 miles of emplacement drift and tunnels
13 and it is underground ventilation is, of course, a key
14 concern for certainly human performance.

15 I want to put this in for the current versus the
16 ACD repository. The piece of interest -- what we have
17 managed to accomplish is that we can place at least 70,000
18 metric tons in the upper block alone as opposed to the ACD
19 design, which said we needed to use the upper and the lower
20 block.

21 How did we do that? It's hard to see in the
22 detail, but you see a phantom dim line across here. We had
23 what we called a TBM launch drift, where we're using a
24 mechanism whereby we had a tube and had to place the boring
25 machines into this tube, which was a great waste of space
which we couldn't use for emplacement.

1 As was suggested this morning by Professor
2 Cording, we have been using some expert or some consulting
3 panels with underground experience. They suggested that
4 that was not really a necessary method, that the new
5 generation of boring machines could, in fact, do without
6 that, and we were able to recover along here around 40
7 meters per drift at each end and about 40 acres total.

8 In addition, we extend it slightly to the north
9 and you can also see we managed to cut some corners based on
10 the characterization. As such, we're able to put 70,000
11 metric tons at the 83 metric ton uranium loading into the
12 upper block, with about a 15 percent margin for setoffs and
13 such.

14 This is the surface facility as shown in the ACD.

15 Clearly it's going to change. You can see that we have a
16 radiological controlled area, where we handle the fuel. We
17 have the support areas associated with those things that you
18 have to do to run a large facility.

19 Up here I say it's going to change. All it is is
20 a block right now, but the waste handling building will
21 likely change since we now handle so many individual
22 elements of fuel rather than the canisters. The waste
23 treatment building may, in fact, change, since now we're
24 handling bare fuel as opposed to canisters. We're likely to
25 have a different quantity and mix of waste.

We have the cask maintenance facility here, which

1 is shown as a very large item. That was because, at this
2 time, this was the cask maintenance facility for the
3 program. With the RSAs, for the transportation initiative,
4 this would be a very small facility associated with just
5 being able to put the cask back on line. So there's a good
6 deal of design that goes into the surface facilities to
7 match the new program plan, but it gives you the idea that
8 there clearly are some specific functions that have to be
9 handled throughout the facility.

10 What I'm going to talk through here is I'm going
11 to take you on a walk through the repository, as we see it.

12 It's, for the most part, how to take a walk. The first one
13 is probably the only one that's not a walk, but it is to a
14 certain extent.

15 What I have is two slides, which I will show over
16 here if I can find my button. I'll show two slides over
17 here that show the major activities or operations that have
18 to occur in the repository and over on this screen I will
19 try and show some of the specifics that go on inside each
20 one of those areas. If you'll indulge me, I'll walk you
21 through the facility.

22 First, over here, we have a nice little TBM which
23 talks about the construction, the development and the
24 disposal container fabrication. Once receiving a
25 construction authorization, you can see you have to build
your surface facilities. That's where you receive your

1 fuel. So you have to get that piece done. You also have to
2 start into your sub-surface development in order to lay out
3 the arrangements that I've shown you previously.

4 You will notice that the sub-surface development
5 goes on much longer than with the surface construction. We
6 would be able to receive the fuel and when we had an
7 appropriate amount of sub-surface development, begin
8 emplacement and then move over to the -- we'd be able to
9 continue to develop while we emplaced.

10 Down here, the disposal container fabrication
11 would likely start sometime during the surface construction,
12 so that we had a backlog of disposal containers available to
13 place the fuel in once it was, in fact, received. Then once
14 it was received, we would be able to emplace it, as you can
15 see. We would have finished the excavation in advance of
16 the emplacement and will hopefully finish buying disposal
17 canisters before we finish emplacement.

18 This slide was intended to show that a scenario, a
19 means by which we could go through it, depending upon how
20 the program goes for the future years.

21 The next effort is in waste receipt. The waste
22 has to come in. It has to be inspected to ensure that it's
23 in adequate condition to be worked on. You'll notice I show
24 some staging here. It's likely that we'll have to have
25 somewhat of a backlog at the front end of the repository; no
large one, of course, but we'll bring it in. It will come

1 in on at least a couple of trains or at least a couple of
2 canisters per train and we will then take that into removal
3 preparation.

4 It's set up for transportation, with the controls
5 for transportation events. Once we've received it on-site,
6 then we can take it to the waste packaging.

7 The waste package says we have to unload it. It's
8 still canisterized. We look at anywhere from our present
9 plans of a canister of some 23 BWR type assemblies, PWR
10 assemblies, fresh water assemblies in a canister to in
11 excess of 40 assemblies of a boiling water reactor. So this
12 is a large undertaking and that's a large mass to deal with.

13 We would look at unloading that. We would have to
14 take it in. The casks are going to be filled with an inert
15 gas and we have to prepare and get the cask ready for actual
16 opening, be it -- here we show canister removal and opening,
17 which, in fact, may be a weld or may be a bolted condition.

18 Then we go to actual individual assembly transfers
19 and we take that from the disposal canister or from the
20 transport canister into the disposal canister. Then we go
21 on and we make a disposal canister weld and we then go to
22 disposal container transfer so we can send it down the
23 tunnel.

24 We now go to the waste emplacement and you can see
25 we show a train, which is how we believe we would take the
canister out of the waste handling building, and we would

1 take it down below. It has to be emplaced. We have to
2 monitor it. Ventilation goes on throughout. At the end, we
3 would seal and back-fill up the main drifts and, of course,
4 if necessary, we'd go to retrieval before we went to the
5 sealing and the back-fill. That would be the next step and
6 I have some slides here of the specifics.

7 As you can see from over here, we go from haulage.
8 We emplace. We have to caretake. We have to make sure and
9 watch and do performance confirmation and ensure the
10 repository is performing as expected. Retrieval may occur
11 and then we go to the closure and decommissioning.

12 As you can see up here, I have a sketch of the
13 transporter unloading the waste package. The waste comes
14 down the transporter. It's pushed out on a cart, so that it
15 can be picked up. Here we have a nice drawing. Again, you
16 can see this cart in more detail as it's pushed out and is,
17 in fact, attached to the transporter and the rail car here.

18 You can see what we've changed to from the ACD.
19 If you looked at this at the ACD timeframe, each of these
20 waste packages was placed on a rail car, which was pushed by
21 a locomotive in and then abandoned in place, if you will, at
22 the precise spot that it needed to be placed.

23 What we're looking at doing now is to take this
24 canister in and you can see we have a gantry arrangement
25 over here that's on rails and this gantry arrangement comes
over and picks up the waste package and lifts it up, carries

1 it down into the emplacement drift, places it on pedestals
2 low in the emplacement drift, and then leaves it and then
3 the gantry comes back for the next waste package.

4 So we've helped ourselves in several ways here.
5 Most notably, in terms of retrievability, we've left no
6 moving parts inside of the emplacement drifts at this point.

7 The canister merely sits on some V-shaped wedges low in the
8 emplacement drift and the gantry which carries it in is, in
9 fact, maintainable, because we can bring it back out into a
10 low radiation zone and reuse it and take it to a different
11 drift if need be and do the maintenance associated with
12 making it reliable and controlling it external to the
13 hostile environment, the emplacement drift.

14 I have a slide here on performance confirmation as
15 one suggested method of putting in an observation drift and
16 taking a look at the different emplacement drifts to see how
17 they are performing with a variety of instrumentation.

18 This is the type of thing that will go on during
19 both the emplacement stage and the caretaker stage. This is
20 not necessarily going to occur, but is meant pictorially to
21 show that we have to deal with the performance confirmation
22 of demonstrating that the packages are behaving as expected
23 inside the drifts.

24 And I have a back-filling piece over here which
25 shows that in the main drifts, not the emplacement drifts,
but in the main drifts, we look at closing them up with the

1 back-fill material, putting appropriate seals in in
2 accordance with the regulations, and then continuing to
3 seal. And, again, we can use the rails that are in place in
4 the main drifts to perform that function at the time of
5 closure and decommissioning.

6 I wanted to talk about ventilation for a minute,
7 and this may be out of -- I'm not sure you have this slide
8 in yours. This is mid-emplacment development. You'll
9 notice that I have a piece on here that shows the emplaced
10 area of the repository and another that shows the under-
11 development area of the repository.

12 Our means of accomplishing ventilation and, of
13 course, regulations require that we separate our systems,
14 our development side from our emplacement side, our approach
15 to this is that we exhaust from the emplacement side. And
16 you'll notice that the air travels down from the north
17 portal down the ramp into the area into the area. There is
18 basically leakage, if you will, through the doors and we
19 haven't determined how much, if it's controlled or if it's
20 just leakage, but it comes through the drifts from either
21 end and our intent is to place a ventilation drift below the
22 repository and use raised bore holes to reach into each of
23 the drifts so that we can have a ventilation path down each
24 drift and out through the ventilation shaft. So we take a
25 suction, exhaust from this side.

On the developmental side, we look at using fans

1 up here by the portal, and, of course, we don't show the
2 seal right here because the least path of resistance would
3 be out. But basically we force air in through the south
4 ramp. We distribute it through the developmental side. We
5 use ducting and such to take it into the various areas that
6 are under development by excavation, and then we exhaust
7 through the development exhaust shaft.

8 And by doing that, we maintain a higher pressure
9 on this side of the air locks, which we have to install
10 between the development and the emplacement side, then on
11 the emplacement side. You'll also notice that we show a
12 couple of TBMs and they're going in different directions.
13 So we've also, in the ACD design, we looked at only one
14 direction and then pick up the TBM, carry it around and go
15 through again. Here our intent is to drive through,
16 partially disassemble it, bring it back and drive again, and
17 we can do it from both directions. So I believe we've
18 gained some efficiencies in the actual development of the
19 repository.

20 And here you are in the caretaker phase and in
21 this phase, you can see we're exhausting again at the
22 emplacement exhaust. We bring the air down. You have
23 leakage past doors at this point in time and it goes in and
24 goes out in this direction, for the long-term ventilation of
25 the facility.

 That was the basic walk through the repository,

1 what you would see if you went and took a look. Not a lot
2 of detail in the design and we'll talk a little bit more
3 about that tomorrow when we come to the individual issues,
4 but it should give you an idea of what functionally has to
5 occur inside the repository in order to get the waste down
6 there.

7 Why is that important? Well, as you've heard all
8 morning, the scientific and the performance assessment folks
9 are looking at what the various characteristics of the
10 mountain are, what the characteristics are of what we place
11 down there. It becomes our job as engineering to make sure
12 that what actually gets emplaced is in conformance with what
13 all the analysis says has to be there.

14 So in order to do that, we went back and said,
15 well, here's all the functions that we have to accomplish.
16 What are the issues that are going to drive us for the VA?
17 Remember that we have four things we're looking for in VA.
18 One is a design, two is tied to the PA, three is we need to
19 be able to make a reasonable cost estimate, and four is we
20 have to be able to get to a license plan that says can we
21 really do this over the next four to five years.

22 So we went through the various operations that had
23 to occur and we went through and picked up what we believed
24 to be the 13 issues that we need to work on. In actual
25 fact, we came up with 90 or 90 to 100 different areas where
there was a high level of work or interest that needed to be

1 done, but when we sat down, these were the 13 that kind of
2 popped up, we need to make some kind of a decision and move
3 on.

4 This does not mean that these are final decisions.

5 It doesn't mean that they're irrevocable. It just means
6 that we're going to make a choice in order to move ahead for
7 the viability assessment.

8 The first one is sub-surface mapping. Our
9 question here is the extent and nature of the geological
10 mapping of the emplacement drift wall surfaces, how much do
11 we have to do, how much mapping do we have to do. It's an
12 impact to us because of the selection of the ground control
13 system. We're leaning towards a lined emplacement drift,
14 what you saw in those previous pictures. Lined drifts solve
15 a lot of problems for us and the ground support is going to
16 be a specific talk tomorrow. But a lined drift solves a lot
17 of problems for us.

18 Unfortunately, the current technology is one where
19 you never see the wall of the tunnel before you line it. So
20 we'd have to be looking at a little bit different technology
21 or some changes based on how much mapping we have to do. So
22 we're going to be working with the various people necessary
23 to decide and set a requirement on how much mapping we
24 believe we have to do in order to move ahead.

25 We have an issue on waste handling. We're looking
at a production scale dry package -- dry packaging of spent

1 fuel assemblies, around 11,000 annually. This is not a
2 simple hot cell. This is a production hot cell. And we've
3 done virtually no work on it. We've been working with the
4 MPC. So we feel that we need to do some work to understand
5 what we have to do to make sure that we can get there in
6 licensing space and technologically, as well.

7 We, in fact, are going to spend some time and look
8 at it for wet or dry; is wet really an option, should we be
9 looking at bringing in and queuing up some assemblies so
10 that we can do the thermal and the fissile material blending
11 prior to loading or is that going to be an impact placed on
12 the transporters.

13 It has an impact on our licensing, the cost, the
14 waste generation, and, of course, NEPA as to what we do with
15 it. In our study, we're going to do a study, we're going to
16 look at the VA design, we're going to choose one early this
17 year and go wet or dry and move out with that. And when we
18 get to the LA design, we obviously will do more work on it.

19 Disposition of site waste. It says location.
20 It's a question, in fact, of how much is there. The
21 previous baseline, as I said before, was with the
22 multipurpose canister. Now that we're handling individual
23 assemblies, we're going to have more waste. We need to
24 quantify what we think that waste is going to be and how to
25 deal with it.

Our intent here is there is some cost data, NEPA

1 may or may not be impacted, but we want to make sure we have
2 that information under control. Our process is we're going
3 to do a study at a recommended disposal strategy and it is
4 our intent to reflect those studies in the VA.

5 Remote operations. It is interesting in that
6 we're going to have a large application of remote handling.

7 We're going to be handling very large waste, 60, 80 tons.
8 It is radioactive and it is thermally hot, and we're going
9 to do a great deal of it remotely and we feel that we need
10 to make sure that we have established the applicable
11 technologies, the methods, make sure that it's a licensable
12 approach for handling all of these items in the remote
13 operations area.

14 Performance confirmation also enters into it in
15 that it is interesting that we want to get some information
16 out of the various drifts, perhaps remotely and perhaps the
17 remote means is the way to gather that. Again, the gantry
18 is of interest to us. We could actually send a gantry in to
19 a variety of drifts to gather information for us and bring
20 it out. But the remote control of this and the ability to
21 deal with the upset conditions associated with that,
22 breaking down with the package in place, being derailed with
23 the package in place, we need to be able to deal with that
24 and work on those issues. And we'll be working on a
25 preliminary design and this will get a little bit more
discussion tomorrow, as well.

1 The issues you saw were generally surface-based.
2 They were generally cost or schedule oriented. They're of
3 interest to us. They are not our primary focus. They are
4 things that we think we have to resolve and we have to know
5 more about. These are more of the key design issues
6 associated with the performance assessment and you can see
7 they, as you would expect, tend to cluster around the
8 emplacement of the waste in taking care of it. I have
9 criticality control up. Abe Van Luik mentioned it as one of
10 his disruptive events that has to be analyzed. We have that
11 as an issue.

12 We also have the current disposal criticality
13 regulation as a deterministically worded rule. It says
14 criticalities are not permitted during isolation operations
15 unless it leads to an unlikely independent concurrent
16 sequential changes of conditions. Essentially, nuclear
17 criticality safety. When you get into very long timeframes,
18 it's hard to separate events and, as such, we believe that
19 the reasonable approach for post-closure disposal
20 criticality control is probabilistic and it has a big impact
21 on the waste package design and the loading of that waste
22 package. You can't put as much fissile material in each
23 package, which would cause more packages, greater area,
24 greater cost.

25 Obviously, there is some work associated with
criticality control, as well. That has to do with

1 determining whether the likely probabilistic type
2 configurations that you are going to see, what are the
3 effects of a criticality should one actually occur, and how
4 is that handled via the performance assessment. Those
5 activities are also being handled and, in fact, we are
6 proceeding with the development of the risk-based approach
7 that I just described and have a couple technical reports
8 issued on that.

9 We have provided suggested word changes to try to
10 deal with the language of the regulatory issue and with both
11 of these, we have ongoing discussions with the NRC in regard
12 to our technical reports. We have taken the approach of
13 putting our technical reports in the hands of the NRC and
14 looking for comments and having discussions with them. Our
15 methodology has satisfied this. Clearly a PA issue in terms
16 of disruptive event.

17 The engineered barrier system performance, this
18 was alluded to this morning a little bit. You'll notice we
19 called out the back-fill, the drip shield and invert
20 material additives to enhance post-closure. The impacts --
21 well, the invert design might have to be different if we
22 decide to place some type of material additive to it and the
23 method of placing back-fill material to meet the performance
24 requirements.

25 You will notice that the gantry approach lends
itself to the back-fill requirement. It would be easy

1 enough or hard enough that at least the capability is there
2 to use the gantry as a means of getting back down the drift
3 and applying back-fill, if, in fact, we need it. So the
4 design as its evolving is being helpful to us.

5 The resolution process, our study, the EBS, as
6 Steve Brocoum pointed out this morning, done at a lower
7 percolation rate, said, well, do you really need it or not.

8 Basically, you don't need it, but keep the option open for
9 the invert additives. In actuality, the only way to keep
10 the option open for back-fill is to design for it. So we're
11 including the back-fill into the design and if we find that
12 we need it, then we'll be readily available to do it.

13 The same goes for the additives and, in fact,
14 we're looking at some drip shields and some ceramic
15 applications should the drip question raise its head.

16 We're not placing a great deal of emphasis on that
17 because we have an idea of its performance, but we'll keep
18 the technology alive so that if the total system performance
19 assessment says we need it, we'll be able to get back to it
20 and incorporate it into the design.

21 Thermal management, hidden over here. Look at the
22 effect of the thermal loading and the thermal management
23 techniques on the overall performance, what thermal load do
24 we want to put underground. The other piece that's of
25 interest is how do we manage the thermal load that actually
gets placed into the waste package and put underground, and

1 there's a lot of techniques that actually will allow us to
2 do that. Dick Snell is going to talk about that a bit
3 tomorrow, so I won't get into a lot of detail.

4 But this impacts the size, the shape, the layout
5 of the repository. It affects the ground control system
6 with regard to structural aspects. Performance
7 confirmation, design instrumentation and control. Again, it
8 creates a hostile environment and how hot you make the
9 packages is important.

10 The resolution process, we're going to look in the
11 80 to 100 MTU range as our aerial loading and we're going to
12 work on the selected issues and work closely with TSPA to
13 try and stay in touch with the question this morning of does
14 the thermal load help us or hurt us with regard to the flux,
15 what's the tradeoff there, and work through that. But we'll
16 choose a thermal load and work through it this year for our
17 reference design for the VA.

18 That burn-up credit, and it shows up over here,
19 it's tied to criticality control. Criticality control, as I
20 said, has to do with the likelihood of the criticality. The
21 burn-up credit, on the other hand, is the process of
22 accounting for the reduced physical content of the fuel. So
23 that we can load more fuel into a package. The NRC hasn't
24 approved that, per se, as yet, away from reactor
25 applications. Again, we'd be limited to just a few
assemblies and we're working through that approach with the

1 NRC in conjunction with the criticality. We separated them
2 because part of it is the burn-up credit, which is one issue
3 with the NRC, and the second part is how to deal
4 probablistically with the results, which is the second issue
5 of criticality.

6 Ground support, that which holds the drift wall
7 up, has to be compatible with the engineered barrier system
8 performance. Up to this point in time, we've been staying
9 away from sedimentatious materials. We've put together a
10 task team that is dealing with sedimentatious materials to
11 make sure that we're able to do that. Clearly the ground
12 control system, the layout, the ability to do
13 retrievability, the ability to use the gantry crane, the
14 very long timeframe associated with caretaker activities,
15 all those things are enhanced by having a robust ground
16 support system. And from an engineering point of view,
17 that's what we'd like to do. Engineering is about tradeoffs
18 and that's a tradeoff that we'd like to try and make with
19 the TSPA, and we're working through that issue in order to
20 do that.

21 Performance confirmation, which I've alluded to a
22 couple of times -- and, in fact, ground support will be
23 discussed tomorrow in some more detail.

24 The performance confirmation, we need to look at
25 what we have to do in order to demonstrate that all these
models that you're seeing are, in fact, behaving the way

1 that we expect them to inside the repository area. It's
2 important that we get the right kind of measurements. We
3 need to know what the measurements are. We have to design
4 them into the repository. And in some cases, we may have to
5 develop some technology because of the long timeframe and
6 the harsh conditions that are involved.

7 So we're working very hard trying to come up with
8 some performance confirmation concepts, what the appropriate
9 parameters are, and what instrumentation we can use and how
10 to design it in without impacting the performance of the
11 repository, and we're going to continue developing those
12 through '97.

13 The issue of retrievability. The strategy for
14 retrieval hasn't been fully developed. We don't have the
15 credible off-normal retrieval scenarios clearly defined that
16 we need to be able to deal with, is it a leaking package, is
17 it a package that has rock falling on it, what are the bases
18 for retrieval, is it economic recovery, what are the bases
19 that we have there for why we want to do retrievability and
20 how easy do we want to make it. If we want to make it real
21 easy, then lined drifts are highly desirable. If we're
22 wanting to mine it out, then it's much different.

23 So we need to establish a method and a set of
24 requirements and criteria for the engineers to design to.
25 And we have a study set up for this year, so that in about
May of this year, we should have an answer as to what we

1 believe the policy should be with regard to retrieval.

2 Seals are of interest, as you would expect. They
3 are in Part 60. The material for the seals will have to be
4 developed for the long-term performance anticipated or
5 expected from the TSPA. We need to determine locations and
6 types, how we're going to do it and how it interfaces with
7 the back-fill. Again, we have to make sure that we have
8 enough information and we believe that the past work done
9 probably has enough information and we'll be working at
10 this. This will probably be a '98 effort rather than a '97
11 effort. We don't believe there's a great deal of new work,
12 but we need to compile what's already been done and make
13 sure TSPA is using it.

14 Finally, I put up post-closure performance as an
15 issue. This one I did a little bit differently because what
16 it's about, in my mind, is integration. There needs to be
17 an established standard. We've assumed one at this point.
18 We have to have a defined performance allocation. We have
19 to take the science, we have to take the performance
20 assessment, and we have to decide how much the engineered
21 systems have to do, what are their criteria. With that,
22 we'll look at the needs to change the design.

23 There was a question earlier by Mr. Cohon, who
24 suggested there were two ways that you ought to go back and
25 look at the PA. I would submit there's a third one, and
that is that you ought to look at it and see if there's

1 changes to the engineering design that perhaps ought to be
2 made as opposed to just the modeling or the adequacy of it,
3 but, in fact, should you go back and look to see if the
4 engineering should be changed to make it more robust or less
5 robust as to have an effect on the TSPA.

6 I find it interesting that we're at the end of the
7 day. The science folks have talked and the TSPA folks have
8 talked and it's really all of us together getting to the
9 bottom line of this thing. We're last because the concepts
10 and the characterization of the site is clearly something
11 that has to be done. When it comes down to it, we have to
12 take all the things that they learn and the TSPA, go through
13 this and come up with an engineered design.

14 That's our discussion for today. We're going to
15 go through, as Mr. Snell said, five items for tomorrow and
16 look at it in more depth. I'm happy to entertain questions
17 about the design as it is.

18 DR. CORDING: Thank you. Let's go ahead with some
19 questions on the overview. There's been a lot of progress
20 here and I think it will be very interesting tomorrow to go
21 into some of those specific issues and breaking this down
22 into key issues I think is going to -- is a good way for us
23 to, from our perspective, get a handle on what major
24 concerns you have and how you're integrating this with other
25 parts of the program and how you're continuing to
investigate the design. I think it's interesting.

1 MR. BAILEY: If I may jump it. It would be our
2 intent for future presentations to status you on what we
3 showed, and that is to go through in more detail, other than
4 the five that we're going to, as well as come back and
5 report to you on what we found, what were the results of
6 retrievability, what were the results of ground support, and
7 talk about that in terms of the ongoing development of the
8 engineering design.

9 DR. CORDING: So we could focus on specific issues
10 at other meetings, and I think that is something that I
11 think we look -- we would appreciate that approach. I think
12 we do appreciate that approach.

13 John Arendt.

14 DR. ARENDT: A few questions. The use of the
15 gantry, does it permit you to move packages over another or
16 are you planning on using it in that way?

17 MR. BAILEY: At the current time, we have the
18 space in the tunnel based on the size of the waste package,
19 the size of the emplacement drifts, what we expect to see in
20 the way of ground support. We have a few inches of
21 clearance that still allows us to move packages over one
22 another. That capability exists. If we start running into
23 a more robust package or a different ground support system
24 or we start closing our tolerances, then we're going to go
25 through a decision process and determine whether or not we
need to do that.

1 DR. ARENDT: Okay. I'll skip around a little bit,
2 but have you -- do you know what the maximum temperature in
3 the repository will be that the remotely operated equipment
4 will see or will be operated in?

5 MR. BAILEY: We're looking at a design temperature
6 of around 200 degrees C as a final temperature inside the
7 repository drift, maximum temperature inside the repository
8 drift.

9 DR. ARENDT: Do you know of any remotely operated
10 equipment that operates in that kind of environment? This
11 will be a first of a kind.

12 MR. BAILEY: That's right. That's one of the
13 reasons that it's up there. It has to do with the
14 environment that it has to operate in reliably.

15 DR. ARENDT: Are you going to do any -- will there
16 be any prototype work or pre-operational testing or how do
17 you know when you get the thing designed that it's going to
18 operate and for how long it's going to operate? I'm sure
19 that -- maybe it's too early, but you certainly have to take
20 that into consideration. I guess the question is are there
21 going to be prototypes.

22 MR. BAILEY: Well, it's clearly a developmental
23 program to ensure that the capability exists and whether we
24 do it on a full-scale basis or on a small-scale basis, we're
25 clearly going to have to show that it will operate in that
area, determine proper maintenance schedules, determine the

materials of consideration that are most likely to fail.

1
2 DR. ARENDT: When will you know what's going to
3 come to your door? With the market-driven approach, I can
4 imagine most anything, or not quite that bad, but pretty
5 much so, what you would have to handle at your receiving
6 facility and when will you know what you're going to be
7 required to handle?

8 MR. BAILEY: Well, we're making assumptions.
9 We've made assumptions in the past in that regard and we're
10 continuing to work with the people who work with the
11 transportation initiative to try and define that. I can't
12 give you a specific date as to when that's going to be
13 known.

14 DR. ARENDT: Will there be any standards that you
15 might be able to use or specifications that the people will
16 have to use?

17 MR. BAILEY: Well, we have some interest certainly
18 with regard to the fissile content and with the thermal
19 aspects of it that we would put into the different packages.
20 They in transportation also have some limits associated
21 with the thermal and fissile content and it would be our
22 intent, if possible, to live within the requirements that
23 are being placed on it for transportation.

24 DR. ARENDT: I understand at Kijema, that if a
25 package comes to the door and it doesn't meet the
requirements, that they refuse the package and it has to go

1 back, and I'm just wondering. I know this is a detailed --
2 I would hope you would do better than that.

3 MR. BAILEY: It's a detail that we, of course, are
4 concerned about and we don't intend to have happen to us to
5 where we reject what's brought to us.

6 DR. ARENDT: I think that's all I have.

7 MR. BAILEY: Rick Craun, I think, would like to
8 add something.

9 DR. CRAUN: Richard Craun from DOE. I just wanted
10 to add a clarification on the 200 degree limit that Jack
11 indicated. It is a design limit. During the normal
12 emplacement operations, those emplacement drifts will be
13 ventilated. So the remote handling equipment will not be
14 qualified to those types of temperatures. So it's a more
15 complex answer than what you received.

16 DR. CORDING: Rick, if you were to go back into go
17 in and use that same type of equipment for recovery, I'm not
18 sure whether you're planning to do that or not, but you
19 ventilate to try and get temperatures down or how would you
20 approach that?

21 DR. CRAUN: The first thought would be, yes, to go
22 ahead and introduce ventilation, cool the drift back down
23 and then go back into entry. Like if you had a drift loaded
24 and then you wanted to go in and do the retrieval later on,
25 you would ventilate it and then go in.

DR. ARENDT: Ed, I have one more. The staging

1 area looked rather small. How are you going to control the
2 thermal loading in the repository, I guess, with such a
3 small staging area or where is that control going to be
4 accomplished, at each reactor site or at the repository?

5 MR. BAILEY: I presume you mean the staging
6 associated from this drawing, which is out of the ACD, which
7 was when we had the multipurpose canister.

8 DR. ARENDT: No, not there. I saw over there, I
9 think I saw a few -- there are a few packages. I think, as
10 I remember, it was on the viewgraph over there.

11 MR. BAILEY: That would have been a pictorial.
12 Mr. Snell is going to talk to this tomorrow, but there are a
13 series of strategies. You can deal with the thermal load as
14 it comes from the reactor if you place it on the
15 transportation. You can deal with it by queuing up the
16 packages as they're received. You can do it by queuing up
17 the individual assemblies before you load them into the
18 package or you can put them into the package and then cool
19 the package before you send it down the main drift into the
20 emplacement drift. You can actually just cool it before you
21 send it down.

22 DR. ARENDT: That hasn't been decided yet.

23 MR. BAILEY: There's a whole series of those
24 strategies and, as I said, Mr. Snell is going to talk to
25 that tomorrow. There's a whole series of strategies to
accomplish that.

DR. CORDING: Don Langmuir.

1
2 DR. LANGMUIR: You pointed out that you were
3 looking at a very specific base case for waste disposal in
4 the repository concept right now, with 70,000 metric tons of
5 uranium in a certain load. If we're going to be doing a
6 bunch of thermal load tests, which we are, that will suggest
7 perhaps that a higher or a lower load is more appropriate,
8 maybe this isn't going to happen right away, obviously it's
9 going to be decades, will we still have the flexibility?
10 Will we know enough about larger pieces of the mountain, for
11 example? This is not a question for you, I guess, but if
12 it's a lower load, we'll have to maybe take a bigger piece
13 of a bigger repository site than is currently being looked
14 at in detail.

15 If it's a higher load, it could be smaller,
16 obviously. Are these kinds of flexibilities built into how
17 you're viewing the design of the repository right now? Are
18 you maintaining that sort of a larger view, with the option
19 of changing what you do if thermal load is changed based
20 upon some tests we're doing?

21 MR. BAILEY: Yes. And I was listening to your
22 question while I looked for my slide. This lower block,
23 which we showed only partially filled, that actually runs
24 this area, is being maintained. It's being maintained in
25 our interface drawings. So that this area is not used up.
We have some margin yet in this. As I said, we have a 15

1 percent margin for a standoff distance. If we don't have to
2 use it, then we have some more there. There is perhaps a
3 little bit more land to the north that could be
4 characterized. That's a tradeoff based on the underlying
5 strata. So it's difficult to say exactly right there.

6 There have been some scoping studies that suggest
7 that there are some other areas that could be used if we get
8 into a very low thermal loading and if we have to go to
9 that, then we would go and do the characterization of those
10 areas. So the answer to your question is an emphatic yes,
11 we are maintaining the ability to go to a different thermal
12 load.

13 One of our requirements in engineering is to be
14 able to maintain alternatives. We're not optimizing the
15 design, for example, for 80 to 100 MTU. We're going to
16 choose one in there so that we can show through the
17 calculations that it will work and it will be feasible.

18 If we, in fact, were trying to optimize it for
19 some value between 80 and 100 and ignore the other
20 alternatives, then we, in fact, would have somewhat of a
21 different design. So we are constrained by maintaining a
22 number of alternatives throughout the process.

23 DR. CORDING: Carl DiBella, Board staff.

24 DR. DiBELLA: Can you put up that ventilation mid-
25 emplacement overhead? You just had your hand on it a moment
ago. I have a question about the ventilation. Yes, that's

1 good. The last time that I recall that the Board had
2 presentation on the repository design was over a year ago
3 and at that time, after emplacement, there was planned to be
4 no ventilation whatsoever. So this is a major change in
5 that there will be some ventilation after emplacement.

6 My question is this. How much ventilation will
7 there be and will the heat and perhaps the moisture, too,
8 but principally the heat that is removed by that ventilation
9 significantly affect the thermal loading basis?

10 MR. BAILEY: Mr. Snell, I believe, is going to
11 address that, again, tomorrow. One of the pieces that we
12 looked at in the thermal loading study was the forced
13 ventilation of the drift to equalize the temperature
14 throughout the drift and minimize hot spots, if you will,
15 or, in fact, cool the drift so that the facility not
16 necessarily would be driven to as high a temperature as it
17 might be otherwise.

18 We have, for the reference design for VA, chosen
19 not to implement that, to try and control the temperature,
20 and what you see here in the ventilation is basically a
21 leakage type ventilation that is meant for radionuclide
22 control in accordance with the regulation. It's not meant
23 as a thermal management means.

24 DR. DiBELLA: No. I'm asking whether there would
25 be so much ventilation by the leakage. I mean, have you
calculated how much leakage there will be? That's what I'm

asking.

1 MR. BAILEY: No. We haven't calculated the
2 leakage, but it's not our intent to try and do thermal
3 management through that means. It's, in fact, a
4 radiological type leakage, to make sure the flow is into the
5 drifts, as opposed to a calculated and intended and
6 controlled flow rate.

7 DR. CORDING: Is your approach with the layout
8 here to be able to not only dry tunnel from both the west
9 and east sides, but also to emplace waste from both sides?
10 Is that correct?

11 MR. BAILEY: Yes. Because of the -- and it was
12 actually a question that was asked before.

13 DR. CORDING: Or either side.

14 MR. BAILEY: Right. Because of the ventilation
15 drift here in the middle, we have the ability, if we wanted,
16 to do some retrieval to ventilate towards the center in
17 either one. So we could actually emplace from either
18 direction, if need be, or remove from either direction and
19 only have half the tunnel distance to travel, as opposed to
20 the old design where you basically had to empty out the
21 entire drift to get to that package. Now you can actually
22 go from either direction.

23 DR. CORDING: This is really a much more flexible
24 system for you and it looks more efficient and looks more
25 economic.

1 MR. BAILEY: Yes, I believe you're correct.

2 DR. CORDING: Woody Chu, Board staff.

3 DR. CHU: In the issue areas of remote handling
4 and performance confirmation, both activities require things
5 or instruments to operate routinely for a very long period
6 of time in the hostile environment.

7 Now, in the issue resolution process, would you
8 consider doing some kind of assessment of reliability,
9 maintainability and availability as part of that resolution
10 process?

11 MR. BAILEY: Yes. I probably went over that too
12 quickly. Yes. The maintainability, the replaceability,
13 perhaps the ability to send instruments in and bring them
14 out remotely, all of that will have to go into it to ensure
15 that we get the data that we need for the long period of
16 time.

17 DR. CHU: And some sense of -- some feeling of
18 mean time between failure.

19 MR. BAILEY: Yes.

20 DR. CORDING: Don Langmuir.

21 DR. LANGMUIR: I guess I -- you were discussing --
22 you mentioned concrete as a possible material in here. Is
23 the prestressed concrete liner concept still something
24 that's viable in the program?

25 MR. BAILEY: Yes. We believe that that's a viable
concept for lining the drifts.

1 DR. LANGMUIR: What's known about them at 200
2 degrees and plus, how they handle it? It's a hydrated
3 series of minerals in concrete. They're not going to be
4 very happy at 200 Celsius. I wonder if it isn't going to
5 collapse around your waste packages. I presume that's the
6 kind of thing you'd be testing.

7 MR. BAILEY: That's exactly the kind of thing that
8 we'd be testing and trying to learn about here in the
9 future. In fact, I think when Mr. Snell talks again
10 tomorrow about thermal, that the drift scale test will do
11 some testing to try and learn about the ground support and
12 the temperature effects on that ground support.

13 DR. CORDING: We're up for thermal tomorrow, also.

14 MR. BAILEY: Yes.

15 DR. CORDING: The question of line load and point
16 loads are things I think we want to find out where you're --
17 what your present thinking is on that.

18 Other questions? Staff? Any questions, comment
19 from the audience?

20 DR. BUSSOD: Gilles Bussod, Los Alamos National
21 Lab. I was looking at your ventilation drift that you're
22 talking about that goes north-south and underneath the
23 repository. Do you know how large a structure is that and
24 how far below the repository horizon or below the repository
25 is it? And if it is large, have you looked at the effect it
would have on the natural barrier system?

1 MR. BAILEY: It's about ten meters below the
2 repository horizon. I don't recall the diameter of it.
3 It's about seven-and-a-half meters, I'm told from the
4 audience, in diameter. I don't believe it impacts the
5 natural barriers perhaps, the mineralogic type. We are
6 talking to PA about the effects of placing it down below and
7 that hasn't been fully evaluated. It is, in fact, a
8 preliminary design.

9 DR. CORDING: I think we're nearing the end of our
10 session. We want to thank you very much for your
11 presentation and we'll look forward to going into more of
12 the details on the various aspects of this tomorrow.

13 We are essentially in a public comment session and
14 I'm not sure -- Helen, do we have any requests? No requests
15 for the public comment. You had signs out. Are you sure
16 you had everything set up? Okay.

17 DR. LANGMUIR: Ed, I'd like to ask a question of
18 some earlier speakers, just a short one.

19 DR. CORDING: Okay. Don Langmuir wanted to have a
20 public comment.

21 DR. LANGMUIR: I could move to the audience and it
22 would look better. I wanted to apologize. It was brought
23 to my -- I was reminded that in July, we heard from Alan
24 Flint that the highest measured infiltration rates ever
25 recorded at Yucca Mountain apparently occurred in '95 and
some very high rates because of El Nino occurring a couple

1 years previous to that, giving us potentially a pulse of
2 water moving down through the mountain starting in '95, and
3 it seems like it's a very appropriate pulse to be following
4 presumably in the infiltration studies; an opportunity, a
5 one-of-a-kind opportunity to see where the pulse is going
6 and how fast it's moving.

7 The question is what is DOE doing, if anything, to
8 take advantage of this major pulse and look at its chemistry
9 and its hydrology as it moves on down through the mountain,
10 its chlorine 36 performance and so on.

11 And Bo is back there talking to someone else.
12 He's a potential answerer of the question.

13 DR. CORDING: Bo, did you hear that question?

14 DR. LANGMUIR: And Dennis Williams left. Anybody
15 else? Larry?

16 DR. CORDING: Larry?

17 DR. HAYES: Larry Hayes, M&O. We're looking at
18 that proposal of Alan's, evaluating whether or not we really
19 believe that we can see that pulse. There is some various
20 thought on whether or not the timeframe that we would be
21 able to monitor would allow us to see something that would
22 be worth putting money into that kind of study.

23 So it's one of those that are similar to what
24 Dennis has discussed earlier. We're looking at it. We're
25 going to evaluate whether or not that's something we want to
fund.

1 DR. CORDING: Thank you. Any other comments from
2 anyone in the room?

3 [No response.]

4 DR. CORDING: We want to thank you for the
5 presentations today. We appreciate them very much, the
6 effort that was put into this, and we look forward to
7 tomorrow. Our session starts tomorrow at 8:30. It will be
8 just a morning session, but it will be a long morning.
9 We're going to run till -- I think it's about -- yes, it's
10 1:00. So we'll look forward to seeing you here tomorrow.

11 [Whereupon, at 5:10 p.m., the meeting was
12 recessed, to reconvene at 8:30 a.m., Thursday, October 10,
13 1996.]
14
15
16
17
18
19
20
21
22
23
24
25