

UNITED STATES
NUCLEAR WASTE TECHNICAL REVIEW BOARD

Meeting of the Panel on the Waste Management System
Spent Fuel Transportation Safety

November 19, 1997

Sheraton National Hotel
Arlington, Virginia

NWTRB BOARD MEMBERS PRESENT

Dr. John Arendt, Panel Chair
Dr. Daniel Bullen
Dr. Norman Christensen
Dr. Paul Craig
Dr. Debra Knopman
Dr. Jeffrey Wong

CONSULTANTS

Ronald B. Pope, Consultant, Oak Ridge National Laboratory

NWTRB STAFF

Dr. William D. Barnard, Executive Director
Dr. Sherwood Chu, Senior Professional Staff
Dr. Daniel Metlay, Senior Professional Staff
Michael Carroll, Director of Administration
Linda Hiatt, Management Assistant
Davonya Barnes, Staff Assistant

I N D E X

	<u>PAGE NO.</u>
Introductory Remarks	
John Arendt, Panel Chair	3
The federal regulatory framework: U.S. Department of Transportation	
Richard Hannon and Richard Boyle	8
The federal regulatory framework: U.S. Nuclear Regulatory Commission	
Charles Haughney	34
Historical safety performance of spent fuel transportation	
James McClure, Sandia National Laboratories	72
Predicting cask performance in accidents (the Modal Study)	
Larry Fischer, Lawrence Livermore	88
Department of Energy environmental-statements- related risk studies	
S.Y. Chen, Argonne National Laboratory	115
RADTRAN: a risk-assessment tool	
Sieglinde Neuhauser, Sandia National Laboratories	131
Critique of Department of Energy/Nuclear Regulatory Commission transportation analysis	
Marvin Resnikoff, Radioactive Waste Management Associates	151
Transportation planning and execution: commercial spent fuel	
Robert Jones, transportation consultant	166
Transportation planning and execution: the Navy experience	
Richard Guida, Naval Propulsion Program	214

1 environmental change.

2 Debra Knopman is not here yet. I will introduce
3 her when she comes. But Debra is Director of the Center for
4 Innovation and the Environment in Washington, D.C. She's
5 former Deputy Assistant Secretary at the Department of
6 Interior, a former scientist and science manager at the USGS,
7 and an expert in ground water hydrology. She Chairs on Panel
8 on Site Characterization.

9 Jeff Wong. Jeff is a Board member, although he's
10 not a member of this Panel. He is Chief of the Human and
11 Ecological Risk Division of the Department of Toxic
12 Substances Control of the California EPA, Sacramento. He is
13 an expert in risk assessment and Chairs our Panel on
14 environment regulations and quality assurance. And I don't
15 believe we have other Board members here that I see.

16 Also with us today are several members of the Board
17 Staff. Woody Chu. Woody serves me on the--or provides Staff
18 report for the Transportation Panel. Mike Carroll. Mike
19 also assists. Bill Barnard--there he is. I almost lost you,
20 Bill. Bill is Executive Director of the NWTRB.

21 Anybody else here from Board Staff? I don't think
22 so. Linda Hiatt helps with whatever you need help with.

23 We also have with us this morning Ron Pope, and Ron
24 is serving as a consultant to our Panel. He's an
25 international expert on radioactive material transportation.

1 His 35 year career has included work in a number of
2 aerophysics and energy fields, including radioactive material
3 transportation and high-level repository systems engineering.
4 Ron was responsible during his tenure at IAEA, actually for
5 three years, for completing the International Regulation for
6 the Safe Transport of Radioactive Material, Safety Series
7 Number 6, 1985 Edition, and its companion, Advisory and
8 Exploratory Document, Safety Series Number 57 and Series
9 Number 7 respectively.

10 We're only able to conduct an in depth review of a
11 limited number of topics at a single meeting. There are
12 other important safety topics that deserve review, and these
13 will be covered at a future panel meeting.

14 Today's meeting has three parts. Part One provides
15 us with an overview of the federal regulatory framework for
16 spent fuel transportation. Part Two, the longest session of
17 the day, is devoted to analyses that relate to risks
18 associated with spent fuel transportation. We will hear
19 about data on the historical safety performance of the many
20 shipments in the past, and about more quantitative analyses
21 and tools to predict the risks of prospective shipments.
22 There are many models and studies about risk, and again we
23 have to limit ourselves to a few. We are reviewing this
24 subject because these analyses and methods are used to assess
25 the potential safety of future shipments. As we shall see,

1 they are not without controversy. There will be a critique
2 of some of the past DOE NRC sponsored transportation studies
3 as the last talk of the session.

4 Before we begin, I need to announce that we will
5 have a public comment period this afternoon shortly after 5
6 o'clock, and tomorrow morning at around 11:30. If you wish
7 to comment during either of these times, please sign up at
8 the registration table in the back, and we will call on you
9 at the appropriate time. Each speaker will be limited to
10 five minutes, but there's no limit on the length of written
11 material that may be submitted for the record. We consider
12 these comment periods to be a very important part of our
13 meeting.

14 And now we'll begin with today's session, first
15 session, and we'll start with the federal regulation
16 framework, and Richard Hannon will make the first
17 presentation, followed by the NRC. Each will have about 45
18 minutes, about a half hour on the talk and 15 minutes for
19 questions. Mr. Hannon will lead off for the DOT. Dick is
20 the Director of the Office of Hazardous Materials Planning
21 Analysis within the Research and Special Programs Division
22 for Administration of DOT.

23 Before you start, Dick, I will try to keep us on
24 schedule. We have a lot to talk about and we may come to an
25 end of a particular talk and question period, and I may have

1 to stop at some point in order to stay on schedule, or if we
2 don't, we'll never finish. Dick?

3 HANNON: Thank you, John. I think we'll handle that
4 last comment first. I will be serving primarily just to
5 introduce Rick Boyle and other members of DOT. If I were
6 making the presentation, I'm afraid we would violate your
7 sanction at the beginning. So Rick will be making the
8 presentation.

9 I would at this time like to recognize some other
10 members from the Department that are here in the audience.
11 They will be available for either fueling questions that we
12 had, or I think take advantage of their presence, engage them
13 in conversation at breaks, and so forth. This is an
14 opportunity for us to meet with the Board and the Panel. I
15 enjoyed it four years ago, so we look forward to that.

16 We have representatives from the Federal Rail
17 Administration. We have Mr. Ed Pritchard, we have Kevin
18 Blackwell--if they would stand and wave. We have Claire
19 Orth. They're both from the safety side. Claire is with the
20 research side in Federal Rail, and has responsibilities in
21 the nuclear area.

22 Federal Highway, we have Richard Swedberg, who came
23 in from Denver. He's probably the most knowledgeable person
24 in Federal Highway on routing issues. And from the Research
25 and Special Programs Administration, we have Jim O'Steen, who

1 is the director, my counterpart on the technical side. We
2 have Dave Lehman of my staff. We have--anyone else? Anyone
3 else from DOT that wants to identify themselves at the
4 beginning?

5 Okay, without anymore delay, Rick will be making
6 the presentation. He's on the technical side, and he will be
7 making the presentation.

8 BOYLE: Good morning. I'm Rick Boyle, and the first
9 thing I'd like to do is thank the Board for the opportunity,
10 although Mr. Hannon was here four years ago, I was not. It's
11 always nice to get a chance to tell everybody what we do.
12 We're proud of what we do, and the safety record we had, and
13 we appreciate the opportunity to share it with you.

14 I'm the head of the Radioactive Materials Group in
15 the Office of Hazardous Material and RSPA in DOT. It's a
16 long title. You'll see it as we go through the organization,
17 where we fit in, so I won't try to explain it now. Your web
18 site is much better than the one I'm listed on, so I had all
19 of your BIOS, but you didn't have mine.

20 I have a bachelor's from Virginia Tech, so with
21 respect to John Arendt, I wish the previous chairman were
22 here so we'd have a fellow Oakie in the room. I have a
23 master's in engineering from Catholic University and I spent
24 seven and a half years working across 395 with the Navy in
25 Crystal City, and the last five and a half years at DOT, half

1 the time working as a packaging specialist in the Radioactive
2 Materials Group, and the last two, two and a half years being
3 the Section Chief in that group.

4 The first thing we'd like to do is give you an
5 overall view of the federal roles and responsibilities, move
6 into DOT's role, some of the ongoing operations. We had a
7 meeting with Mr. Chu, or Dr. Chu, who gave us some of the
8 highlights that you may be interested in, so we wanted to hit
9 on those. We'll then turn it over to the NRC, Mr. Charlie
10 Haughney of the Spent Fuel Program. We'll move into the
11 NRC's roles and responsibilities, and then highlight some of
12 their operations.

13 This slide, the first point as you look at the
14 federal government and spent fuel transportation, you really
15 have three agencies involved. Two of them, the Department of
16 Transportation and the Nuclear Regulatory Commission, serve
17 as regulators, and one, the Department of Energy, serves as I
18 guess the regulated. I don't know if that's a proper use of
19 the word, but that's the way we see it.

20 I'll let Charlie further explain the role between
21 NRC and DOE, but there's a little bit of a good cop/bad cop
22 role here, in that the Department of Energy is not a licensee
23 to the NRC, so there's a little bit of a difference between
24 the way they treat the Department of Energy and the way they
25 would treat their licensee.

1 As far as the Department of Transportation is
2 concerned, though, they are a licensee type regulation, and
3 with the exception of national security shipments, which they
4 do in safe secured transport systems, they are under our
5 regulations and have to comply.

6 Where does our DOT authority come from? If you
7 look in the top left of the slide, the Hazardous Materials
8 Transportation Act, the first one was passed in 1975, which
9 gave the Secretary of Transportation the authority to
10 regulate HAZMAT. The first major reauthorization came in
11 1990. Probably you've heard of HMTUSA, the Hazardous
12 Materials Transportation Uniform Safety Act, long words, but
13 that was the first time we got reauthorization.

14 Mr. Hannon is here. If I go too far astray on
15 this, I'm an engineer, he'll reel me back in, and if you have
16 too many more questions about our authority, meaning the
17 Department's authority, Mr. Hannon would be the best one to
18 see at the break.

19 But rather than read you the act and read you our
20 regulations and say this is what we do, I'd rather just give
21 you an overview of our program, and a sample of some of the
22 numbers of what we're dealing with.

23 Right now, the secretary has defined nine classes
24 of hazardous materials for transportation. You look at our
25 flammables, liquid solid gases, our non-flammable gases, our

1 poisons, corrosives, explosives, other regulated material,
2 and the one we're interested in, Class 7, is radioactive
3 material. Now, each one of those, the Secretary in Title 49
4 has set up regulations for packaging, transportation
5 standards, and communication standards. Communication would
6 be the labeling that's put on packages, the placarding, the
7 shipping papers, all of that is in Title 49 of the Code of
8 Federal Regulations.

9 Right now, our--1.2 million packages per day of
10 hazardous materials are shipped within this country. If we
11 give ourselves a generous outlook and say 5 per cent of that
12 is radioactive material, that would be about 60,000 packages
13 a day of radioactive material.

14 If we turn to our colleagues at the NRC, they'll
15 tell us roughly 1,300 shipments of spent fuel has been made
16 in this country since 1979, and as Yucca Mountain or some
17 other repository--I don't know if that's fair to say Yucca
18 Mountain all the time, I do refer to just a repository--were
19 established, you're looking at about 2,000 shipments a year
20 would be a fair ballpark of what you'd be looking at. So we
21 certainly deal with a much broader sense than just
22 radioactive material.

23 As you can see from the last slide, we had a co-
24 regulator situation between the NRC and the Department of
25 Transportation. So what we did in 1979 is we established a

1 Memorandum of Understanding between the two agencies, and
2 formalized who would be responsible for what.

3 I think the most important aspect to let you know
4 is this is a very active and living document. As you can
5 see, or I hope you'll see that even from this presentation,
6 the slides merge together very well. We're not talking over
7 each other. We work together, see each other probably at
8 least on a weekly basis. If I return my phone calls
9 promptly, we probably talk to each other every day. But they
10 tell me I don't quite achieve that. But we're very hand in
11 hand with the transportation staff at the NRC, and certainly
12 rely on them for the technical assistance.

13 DOT's responsibilities; we have the responsibility
14 for the overall classification of radioactive material, and
15 anything under the Type A quantity, classification meaning we
16 set the definition for what is radioactive material all the
17 way at the bottom. So what needs to fall under the
18 regulations, we set that.

19 A Type A quantity is a quantity that imposes
20 hazards, but not a large hazard, so that has to be in
21 packaging withstanding normal conditions of transport. We
22 define where that line shall be for each nuclide. And then
23 you can take a case; we regulate underneath that line. The
24 NRC would regulate above that line. And those are set
25 nuclide by nuclide. We have a mixtures rule and everything

1 else.

2 The one exception to that is listed as LSA/SCO.
3 That means low specific activity or surface contaminated
4 object. Just as we have an exception if you have a very,
5 very small quantity of material, a limited quantity, we also
6 have exceptions if you have a very low concentration. If you
7 have a small amount of nuclide mixed in dirt, say, you may
8 have a greater than Type A quantity, but its concentration is
9 so dispersed that it gets a packaging and kind of falls below
10 the line. We regulate that.

11 Transport operations is our next responsibility.
12 We set the safety standards for the mechanical conditions,
13 the carrier. We do all the mode and the vehicle, we set all
14 those standards at DOT. We do the handling and communication
15 as well. And, again, communication would be the shipping
16 papers, the placards, the labels, the marking that's required
17 on the packages. That's what we refer to as the
18 communications.

19 DOT also serves as the National Competent
20 Authority. Briefly stated, that's the U. S. representative
21 at the IAEA transport meetings. With they get together to
22 discuss the international regulations, which form the basis
23 of our domestic regulations, we serve as the head of the
24 delegation. And in my two and a half years representing the
25 country in that role, the NRC or multiple NRC people have

1 always been right there with me, both at the preparation
2 meetings and at the meetings. So we further team in that
3 regard.

4 In the essence of time, I don't think it would be a
5 good idea for me to go over what the NRC's role is, because
6 Mr. Haughney will be doing that later. I do just throw out
7 that they are responsible for the receipt, possession, use,
8 transfer of by-product, source and special nuclear materials.
9 And they set the standards for the design and performance of
10 Type B packages and fissile material packages.

11 Those of you that are familiar with the IAEA
12 regulations, you're going to see air transport standards
13 coming up in the '96 version. Hopefully, we'll adopt that
14 just after the year 2000. It's not in the MOU, but Type C
15 packaging for air will also be the NRC's responsibility.

16 In this case as we deal with special nuclear
17 materials--excuse me--spent nuclear fuel, not special nuclear
18 materials, we also have a Memorandum of Understanding with
19 the Department of Energy. I think, as you can see, because
20 of the 1.2 million shipments a day, we're dealing with
21 HAZMAT. Since the Department of Energy isn't moving too much
22 product now, our MOU is active in the sense that we have it
23 on paper and we know what each other's responsibilities are;
24 it's inactive from the standpoint we do not meet with them on
25 a weekly basis to see what they're doing. We do not call

1 them every day to say how are things going. It's certainly
2 not as lively and active as the one we have with the NRC.

3 We do see, however, that it is in both agencies'
4 best interests that we have this Memorandum of Understanding,
5 and we define further what the Nuclear Waste Policy Act told
6 us we had to do.

7 I think first of all and foremost, the Department
8 of Energy is responsible to manage and transport the
9 material, and that the Department of Energy will act in
10 accordance with the DOT regulations when they move it.

11 Secondly, in the Memorandum of Understanding is
12 there are provisions for compliance and enforcement, that the
13 two agencies will sit down, develop the, if you will,
14 enforcement or compliance jointly, and the program, as you
15 see, will cover pre-shipment, en route, and post-shipment
16 requirements.

17 Finally, as you get into the smaller words of the
18 Act, the Secretary of Transportation is tasked with the
19 overview, if you will, of ensuring that the public carriers
20 will economically and efficiently transport this material.
21 Also within the Memorandum of Understanding is a compliance--
22 not compliance--a teaming effort where all studies run
23 through DOE, DOT would collaborate on. We do those studies
24 jointly and, therefore, when the conclusion was being
25 reached, DOT would be participating in that decision. We

1 wouldn't have to start over at a late date. So it is set up
2 as those studies are run, the Department of Transportation
3 would participate in them.

4 Briefly looking at the Department of
5 Transportation, I'm going to concentrate, and the next slide
6 will show it better, on the four spheres on the left side,
7 the Research and Special Programs Administration, where I
8 work, the Federal Highway Administration, the Coast Guard and
9 Federal Railroad Administration. We believe those are the
10 administrations actually working on the spent nuclear fuel
11 transport. For completeness, we have listed the other side
12 of the organizations on the chart, Saint Lawrence Seaway,
13 Maritime, Federal Transit. FAA is not mentioned in this case
14 because we do not anticipate this material to be flown any
15 place. They are certainly an active participant in RAM
16 transportation. As anyone familiar with the pharmaceutical
17 industry would know, they are not listed on the important
18 spent fuel side because we don't see it to be air shipped.

19 If we could just break down the four operating
20 elements, you see the Coast Guard because there is a
21 possibility of inland waterway or barge transportation.
22 They're deeply involved. Federal Highway and their Office of
23 Motor Carrier Safety as well are both involved for surface
24 transport over the highways. And as Mr. Hannon said, Mr.
25 Swedberg is here from the Denver office. He's available at

1 coffee breaks, or if you ask too tough a question, I'll yield
2 to him for highway issues. Federal Rail is also involved in
3 it. They have branches working with the actual railroads,
4 with the power, the locomotives. They have an equipment
5 group as well as a HAZMAT group. As we said before, there
6 are three representatives from Federal Rail, Kevin Blackwell,
7 Ed Pritchard, and Claire Orth are also here.

8 And then RSPA has the overall HAZMAT program where
9 we set the standards for the Modal Administrations to enact.
10 And I sit in that office from RSPA. Your next level down is
11 the Office of Hazardous Material Safety. The Associate
12 Administrator is Allen Roberts. In his office, I sit in the
13 technical office, the Hazardous Material Technology office,
14 which is headed up by Mr. O'Steen. And I head up the
15 Radioactive Material Transport group. So that's how you
16 trace the Secretary, all the way down to my desk.

17 Some of the issues that we were asked to touch on
18 were highway and rail routing requirements, the preemption
19 requirements, enforcement program, training, mode and route
20 study, and dedicated train study.

21 Highway routing. Simply put, I get off the hook
22 here. Spent nuclear fuel routing is the responsibility of
23 the Federal Highway Administration. Now, management said
24 just say that and go on to the next one, and let Highway fend
25 for themselves. I thought I'd give you a few bullets before

1 I skipped right onto the next topic. So although Jim's here
2 to catch me doing this, don't tell my management I went
3 beyond their recommendations.

4 Basically, spent nuclear fuel must travel preferred
5 routes. Preferred routes are defined, absent of the state
6 selecting of alternative routes, it's the interstate highway
7 system, is a preferred route.

8 Now, a state certainly can select an alternative
9 route, and there are guidelines for that. I have that book
10 here, and it's available through Federal Highway, the
11 "Guidelines for Selecting Preferred Highway Routes," it gives
12 them the primary and secondary criteria for use in
13 designating alternative routes.

14 What are some of these factors? I'll just touch on
15 the chapter headings rather than read the chapters to you.
16 The first thing and the primary side of the house that they'd
17 have to consider is comparing radiation exposures, the health
18 risks of selecting these alternative routes, accident release
19 frequencies and what the consequences would be, and the
20 economic risks to the areas that you are now routing them
21 through in the alternate routes.

22 If you can make a decision based on those primary
23 considerations, you would not have to go to the secondary.
24 If you were still at a wash between the interstate highway
25 system and the alternatives, you have a list of secondary

1 considerations, including what's the emergency response
2 capability, would you have a timely emergency response, are
3 there evacuation criteria for the areas you're routing the
4 material through, and are there any special facilities
5 located along the route. A special facility would be a
6 hospital, schools, churches, stadiums, and the like,
7 something that would be a special consideration.

8 And, finally, as you identify alternate routes, you
9 have to look at the coordination between local jurisdictions
10 and neighboring states. One state can't say we want an
11 alternate route to go to the north, and the following state
12 says no, we want it to go to the south, because you have to
13 respect, it can't just drop down along an imaginary path. So
14 there is an intermingling from state to state and locality to
15 locality.

16 Now, rail routing is even easier. We could have
17 just put up none. There are no requirements really. But to
18 let you go a little bit farther than that, there are no
19 specific rail routing requirements. As you know, the
20 railroads themselves are privately, or publicly held. But I
21 did again want to carry you a little bit farther. Rail
22 routing is determined by the carriers in conjunction with the
23 shippers.

24 We have some experience right now in the research
25 reactor return shipments that we're bringing research reactor

1 fuel back from Europe. I've been involved in the process of
2 how they've been routing that in through the Carolinas. I
3 don't know if that process is applicable to a Yucca Mountain,
4 just because of the numbers of shipments you're talking
5 about. In that process, though, I have been impressed with
6 the coordination between the Department of Energy and the
7 states and the local government, and in this case, it was CSX
8 railroad.

9 It was almost a conglomeration around the table,
10 the railroad saying this is what's possible, because where
11 the tracks are, meeting the needs as to we have locomotives
12 to do dedicated train if that's what you would like, DOE
13 taking that information back to the localities, and what were
14 their needs and times. So it's a very iterative process.

15 Again, I don't know if they'll go to that length
16 for this number of shipments, but I do see that it will be
17 somewhat like that.

18 We do have preemption. And what would a meeting be
19 without a lawyer? One person we didn't identify--maybe we
20 were trying to hold him in reserve, our ace in the hole--Mike
21 Hilder from our legal counsel staff is here. So, again, if I
22 go way off base on preemption, or if you have real hard
23 questions or you want to discuss it further, Mike Hilder is
24 here. I can't see him, but trust me, he is here, and when I
25 go off base, he'll jump up and tell me.

1 Basically, you have three conditions where your
2 states or locality--I'm just going to say state, but it is
3 state, local, Indian tribe, it's the whole ball of wax. I
4 just say states; I'm not trying to cut anybody out. Three
5 conditions for preemption; when compliance with both the
6 federal and state regulations is impossible, when the state
7 government is an obstacle to complying with the federal
8 regulations, or when a subject that is covered in the federal
9 regulations is not uniformly covered in the state
10 regulations.

11 I think no surprise to anybody, RAM Class 7 leads
12 the way in preemption efforts. Most of them have been along
13 routing criteria where a state has selected an alternative
14 route that was in violation of the standards. I held up the
15 book before. It was deemed in violation of the way we told
16 them to designate alternate routes. What happened is they
17 used different criteria. They wouldn't evaluate the criteria
18 the same way we did. And those were preempted.

19 We also had preempted cases where a local
20 government was selecting alternative routes. And if you
21 remember, we said the state could identify alternate routes,
22 but we were not allowing localities to identify different
23 routes. So those have been preempted.

24 And finally, as I said, you have to work within
25 county to county, state to state. Some were preempted

1 because they hadn't done that. They hadn't worked with the
2 local government.

3 That's preemption in a nutshell. As I said, that's
4 a very complicated case. We did bring along one of our
5 lawyers to smooth that out if you need more information.

6 Our enforcement program, again, Charlie Haughney
7 will explain the NRC and the actual actions that take place.
8 And I think the actions the NRC take enforcing Title 49
9 would be uniform, whether either one of these organizations
10 or any of these organizations take those actions. So rather
11 than getting into detail of what goes on in an enforcement
12 program and numbers, I'll leave that to Charlie.

13 I'll just say for enforcement of our hazardous
14 material regulations, in-house, we have an office of
15 enforcement. They're just right below us, three floors down.
16 We're in constant contact with them. So that's in-house,
17 and they have four regions throughout the country.

18 DOT Modal Administrations also have programs. We
19 referenced Federal Rail's HAZMAT program. Some of the
20 representatives are here from that program. FAA is an ever-
21 growing HAZMAT program based on the Valu Jet incident,
22 they've been growing. Also, Coast Guard is an obvious one,
23 the research reactor shipments, they were definitely involved
24 as we were bringing those into U. S. waters. The Nuclear
25 Regulatory Commission enforces Title 49 as well as their own

1 Title 10. State, local, tribal governments also if they have
2 adopted Title 49 would have an enforcement role. As I said,
3 rather than duplicate Charlie and give you the particulars of
4 the enforcement program, I'll defer.

5 Training, a relatively new rule for us. Subpart H
6 of Title 49, Part 172 requires a hazardous material employer
7 to provide function specific training encompassing general
8 awareness and familiarization training, specific training for
9 the job function performed, and general safety training.
10 There are a repeating basis. You can't have it once and then
11 you're done for your career. You're redoing that on I
12 believe it's a bi-annual basis. You have to have
13 documentation that you've trained the people. You have to
14 have documentation what function they perform and how that
15 was defined. That's all spelled out in Part 172, Subpart H.

16 Similarly, the last paragraph says Modal
17 organizations must do the same thing. So as you drop out to
18 Section 174, 175, 176, and 177, which not in this order are
19 highway, rail, water and air, they also have requirements for
20 training of HAZMAT that are set up in there.

21 The two issues we'll just touch on, the Mode and
22 Route study, under Section 15 of the Hazardous MTUSA in 1990,
23 the Secretary was asked to do this study determining mode and
24 route, with the purpose being to determine which factors, if
25 any, should be taken into consideration by shippers and

1 carriers in order to select routes and modes which, in
2 combination, would enhance public safety. And then, second,
3 purpose, assess the degree to which various factors affect
4 the public safety of such shipments. I apologize for just
5 reading that, but I was kind of led into don't stray from the
6 points on mode and route. Stick to the point.

7 The study, we've been promising it, I liken it to
8 when we were adopting the 1985 regulations from the IAEA, it
9 took us seven years to do it, so we has seven years worth of
10 meetings where we kept saying next month, or six months from
11 now, it will be available, and we went through that. I kind
12 of feel like we're doing the same thing here. We're still
13 close to it. Six months or a year is the official party line
14 till you see something.

15 And I think I'll just leave it at that. If you
16 have direct questions on mode and route, I would refer you to
17 the gentleman that introduced us, Mr. Hannon. His office is
18 putting it together in conjunction with Volpe up in
19 Massachusetts. They'd be the best to answer your questions
20 on that.

21 Also, under the HMTUSA Act, Federal Rail was
22 assigned to do a dedicated train study, with the purpose
23 being to assess the comparative safety of transporting these
24 materials either in general rail service or by dedicated
25 trains.

1 Again, same story; it's in the final phases. The
2 study is generally done. They're working on the conclusions,
3 and we're six months to a year away from that. It's my
4 personal assessment Federal Rail is responsible for
5 publishing it. And I do kind of hate to just deflect
6 everything off to other people, but as you can see, the RAM
7 program is rather large. The representatives from Federal
8 Rail, Mr. Blackwell, Pritchard and Claire Orth, will be happy
9 to talk to you about dedicated train study, either at the
10 break or when we get into the question and answer phase later
11 on.

12 That concludes my presentation. Again, I thank you
13 for the opportunity to speak, and I would just defer back to
14 the Chairman. Is it better to do questions and answers now,
15 or let the NRC speak and then both of us kind of come back
16 up?

17 ARENDT: Before we do that, would you introduce the DOT
18 people that are here with you?

19 BOYLE: Certainly.

20 ARENDT: And ask them to stand so that everybody can see
21 what they look like, and so they can talk to them during
22 coffee breaks, and so forth?

23 BOYLE: Certainly. Mr. Richard Hannon is right here on
24 the corner. If you have questions about mode and route
25 study, anything with a legal or past basis, Mr. Hannon from

1 our Office of Planning would be the one to ask. We also have
2 from Federal Rail for dedicated train, for rail routing, for
3 rail safety criteria, Mr. Blackwell, Kevin Blackwell, Fred
4 Pritchard, Ms. Claire Orth, any one of the three would be
5 available. We have Mr. James O'Steen, who is my boss in the
6 Office of Hazardous Material Safety, the Technology Branch,
7 any HAZMAT question is fair game for him. Put him on the
8 spot. He'll answer anything.

9 We have Richard Swedberg from Federal Highway, so
10 if you had questions on highway routing, Mr. Swedberg would
11 be able to answer those. Mike Hilder from our legal staff is
12 here. He would answer all your questions on preemption. And
13 then if you have questions about the RAM regulations, again,
14 my name is Rick Boyle and I would cover those.

15 And I believe--did I leave anybody out? I guess
16 not. Paul Zebe is here from Volpe, so if you have questions
17 on our mode and route study and how we're doing that, I
18 believe he would be able to address those.

19 ARENDT: I think we'll go ahead and just take questions
20 now. Any questions? Paul?

21 CRAIG: Yes, Paul Craig, Board member.

22 I wonder if you'd discuss the public's right to
23 know, and particularly, right to know in advance of
24 shipments, and separate that between road shipments and rail
25 shipments and marine shipments?

1 BOYLE: The right to know, the notification, again I
2 don't want to defer to the NRC, but the NRC has--these are
3 safeguarded shipments, so they aren't announced in advance.
4 Again, I'll defer that to Charlie Haughney to give all the
5 details of their safeguarding program.

6 My understanding from the Department of
7 Transportation, the government, the state governments, the
8 governor of states are notified when shipments are coming
9 through. I believe of highway route control quantities,
10 that's no less than seven days in advance. On safeguarded
11 shipments, my understanding is that he's not allowed to
12 release that and say this material is coming through at such
13 and such a time on a particular route. This would violate
14 the NRC's safeguarding rules.

15 CRAIG: Who is the person within DOT who specializes in
16 this area?

17 BOYLE: I would say Mr. Hannon, just so I can defer
18 this, but you do need to make a distinction between highway
19 route control quantities, which is, for simplification, very
20 large quantities of radioactive material, which require
21 notification, that goes to the governor and there's no
22 safeguarding policy on that. He could release that material
23 freely.

24 Under the NRC's safeguarding rules, when you're
25 dealing with spent fuel or other safeguarded issues, he's not

1 allowed to then transfer that and announce it to the public
2 that certain shipments are coming through at a certain time.

3 So there are two different issues at play here.

4 ARENDT: Debra Knopman has arrived, and I wish she would
5 hold her hand, or even stand. Debra, if you wish, please?

6 And she also has a question.

7 KNOPMAN: Thank you, John. Actually, I have two
8 questions. The first is would the person who can speak to
9 the timeliness or lack thereof of these two studies that you
10 mentioned please explain why, if they're almost done, it's
11 going to still take a year?

12 BOYLE: Is the second question related to that one, or
13 is the second question--

14 KNOPMAN: The second question is different. Why don't
15 you do this one first.

16 BOYLE: I'll turn mode and route over to Mr. Hannon, and
17 then Federal Rail I guess can use the center microphone to
18 discuss the dedicated train.

19 HANNON: A point of clarification in Rick's remarks was
20 I think the mode and route study is much more imminent than
21 the dedicated trail study. We're thinking of a matter of
22 weeks or months.

23 When I appeared before the Board four years ago, I
24 would say three or four months. Burned once, I don't want to
25 say that. But the report is in final, it's all, you know, in

1 fact printed. We have the final version. We're just
2 awaiting the political process of sign-off. It will not be a
3 report to Congress, as the dedicated train study will be. I
4 think the explanation for its gross tardiness is the sense of
5 priorities. We did send one out for public comment several
6 years ago, and comments were received and incorporated. I
7 believe the report is, you know, it should be available in
8 the next month or two.

9 I have the summary in front of me, and we're ready
10 to go. We would have liked this forum to have released it,
11 but the process, the priorities of management precluded that
12 happening.

13 KNOPMAN: The second question just has to do with logic,
14 I guess. We have an elaborate, somewhat elaborate process of
15 highway routing and coordination, and we have virtually--

16 BOYLE: Did you want to get your answer on dedicated
17 train study?

18 KNOPMAN: Oh, I'm sorry. Yes, if there's a different
19 answer there.

20 BOYLE: Sorry, Kevin.

21 HANNON: Well, Claire Orth will be giving the answer for
22 Federal Rail. Both these studies were mandated in 1990.
23 There was a requirement that the dedicated train study be
24 reported to the Congress within a year. The mode and route
25 had a different language, so it had less priority.

1 Now, putting you clearly on the spot, Claire.

2 ORTH: We have very similar problems with trying to get
3 the report out, priorities from our higher up management. We
4 are still working on the report, and since this will be a
5 report to Congress, we're estimating about six months to go
6 through the review process. This would be going through the
7 departmental review, OMB review, and at least--and I'm basing
8 that on some of the recent reports on our programs dealing
9 with high speed rail. It's taken six to nine months to get
10 that through the DOT and the OMB review process.

11 KNOPMAN: So in both of these cases, it's really at the
12 Secretarial level at DOT where that review process has to
13 proceed, or is out of the Rail Administration?

14 ORTH: The dedicated train report will go through FRA
15 management review. Since we have a new administer since the
16 Act was initiated, we have to go through an internal review
17 process. Then it would go through the departmental review
18 process, then OMB.

19 HANNON: I believe there is a difference and Claire has
20 captured much of it. Ours would not have to go through the
21 full OMB review, you having served in the executive know that
22 can be the valley of death sometimes.

23 KNOPMAN: One of; right.

24 HANNON: But I think basically no one has really been--
25 also from your experience, no one has been yelling for it,

1 neither the Congress nor agencies. And, you know, we respond
2 to pressure. I've gone as far as I've gone with some staff
3 members I think just--I think if the Board chooses to do
4 that, that could well be effective.

5 KNOPMAN: Okay, good. Thank you.

6 Now, the second question just has to do with this
7 incredible disparity between procedures for rail routing and
8 highway routing. Can you offer any logical explanation for
9 why there is a difference? I mean, if you're living in a
10 neighborhood and you've got a highway not far from the front
11 of your house and you've got tracks behind your house, you
12 find out on the one hand, your neighborhood would be
13 disqualified for any highway routing, and then the next thing
14 you know, there's trains going behind you carrying the same
15 stuff. Can anyone give an explanation?

16 BOYLE: My opinion is it's the nature of the beast. The
17 railroads are publicly held. They own the railroad and they
18 set their own routing requirements, within the industry, the
19 industry has some sort of--you know, they've been de-
20 regulated, but there's some regulation as to what the
21 railroads will and will not be able to do, yet the public
22 highways are just that, they're public. So they do fall
23 under Federal Highway Administration's rules as to how
24 they're used, and it's just the nature of railroad versus
25 highways.

1 KNOPMAN: Well, that's not the way we usually deal with
2 safety issues. I mean, even though there is a difference in
3 owner, we have a whole set of environmental laws that, in
4 effect, do not distinguish between public and private.

5 BOYLE: If we restrict our conversations to spent
6 nuclear fuel, the safety rests in the packaging, and that's
7 how the regulations are set up. And then those packages are
8 intermodal to a large degree. We are not relying on rail to
9 provide some extra measure of safety that highway doesn't or
10 vice versa. So, therefore, I don't think that--again, my
11 opinion, you're not under any more risk by putting it on rail
12 or putting it on highway. The choice of routing and the
13 regulations defining how routing will be selected is based
14 more on railroads being private ownership, and highways being
15 public ownership.

16 KNOPMAN: Well, on that logic, you then wouldn't do any
17 of your routing on highways. I mean, you wouldn't have any
18 of your routing procedures on highways.

19 HANNON: If I might add a point? I think clearly the
20 Department and the federal government does have authority
21 over, whether privately or publicly owned, rights-of-way and
22 it has exercised that. I think the genesis of the routing
23 requirements, they're specific for the highway mode and
24 they've had a long and checkered past over 20 plus years,
25 they responded to questions in the New York City area. I

1 think as the volume of spent fuel shipments go, I think
2 there's going to be clearer regulatory requirements. Whether
3 they're going to come from the Department or whether they're
4 going to just be mandated by status, I think that's going to
5 happen.

6 I think the richness of the networks between a
7 highway system and a rail system was one of the major
8 differences back in the '75 or early '80 time period for not
9 getting specific requirements for the rail mode.

10 KNOPMAN: Okay. That's very helpful. Thank you.

11 ARENDT: Dan?

12 BULLEN: Bullen, Board. This is just a quick question
13 of clarification.

14 In your preferred routes from the highway routing,
15 you mentioned that spent nuclear fuel falls under that type
16 of jurisdiction. But the special nuclear materials,
17 specifically research reactor fuel, has the same kind of
18 requirements; is that not correct?

19 HANNON: Yes, it does.

20 BULLEN: Okay, thank you.

21 ARENDT: Any other questions from Board? Ron, do you
22 have any? Staff?

23 (No response.)

24 HANNON: Again, thank you for your time. I'll be here
25 through the whole seminar. If you think of a question later,

1 feel free to ask. And with that, I'll take off the
2 microphone and turn it over to Mr. Charlie Haughney from the
3 Nuclear Regulatory Commission.

4 ARENDT: Thanks very much. Charles Haughney was
5 Director of Spent Fuel Projects Office for the NRC, and he
6 will be our next speaker. And, Charlie, if you would, also
7 introduce people that have accompanied you and have them
8 stand so that they can see their faces.

9 HAUGHNEY: Thank you, Mr. Chairman.

10 I am Charlie Haughney. I'm the Acting Director of
11 the Spent Fuel Project office at the Nuclear Regulatory
12 Commission. As the name implies, there's a heavy emphasis on
13 spent fuel, not only from the transportation standpoint, but
14 on storage, and I must tell you that probably 80 per cent of
15 my time is placed on dry storage issues and problems with
16 power plant refueling schedules and all that sort of stuff.
17 But nonetheless, we have our transportation regulatory group
18 embodied in that project office spread through three
19 different sections.

20 My own background, I started off as a Navy Nuc
21 after graduating from RPI, served on active service in
22 submarines for about 12 years, and have been at the NRC most
23 of the last 20 years, other than a brief manifestation of an
24 early mid-life crisis.

25 Throughout this entire time, I've really spent most

1 of that 32 years on reactor operational safety issues. I've
2 been involved with transportation for three years, and
3 storage for the last six. I do have two very able assistants
4 here, and with your permission, Mr. Chairman, I'm going to
5 give them a chance to present the last couple of slides.
6 Earl Easton is not going to be just a slide shower, but he is
7 one of my real experts on transportation safety, and he's
8 accompanied by John Cook, who's sitting at the table with
9 close access to a mike. So at this point, I'm ready to
10 start.

11 I'm going to go quickly through some of the slides,
12 but not this one, because as I look at the agenda, the topic
13 of the discussion is explain what our agency does with
14 respect to transportation safety, and I think these five
15 points here are key.

16 We really spend most of our labor on the top one.
17 Package certification is really is design review process
18 where we examine the design, the drawings, the calculations,
19 the qualitative analysis that may be present to determine
20 whether or not a certain package may in fact comply with our
21 regulations for both normal and conditions for transport and
22 hypothetical accident conditions that the package is
23 postulated to encounter.

24 We don't do this for every type of radioactive
25 materials package, but do it for a smaller set, that is the

1 so-called Type B packages, and these include spent fuel,
2 radiography sources and other larger sources, higher activity
3 sources, and then fissile material, for unlike Rick Boyle's
4 group in DOT, we have a cadre of criticality engineers that
5 can do criticality safety analyses. So we do all the fissile
6 packages. And typically, this group approves about 100
7 licensing actions a year. Most of those are amendments, some
8 renewals, and then a smattering are new packages. We also
9 revalidate some foreign certificates that are for packages
10 that will be coming into the states.

11 The next bullet is becoming increasingly important.
12 We do sort of a licensing review of quality assurance
13 programs for package fabrication and loading, and approve
14 these as necessary throughout the year. But most of that
15 labor is involved in actual on-site inspections of
16 fabrication activities, or even at design shops of how they
17 do design control, do their calculations, et cetera, and
18 these we find are increasingly important, because of
19 something that was mentioned a few moments ago, and that's
20 the safety philosophy of these packages. And that's that the
21 packages will not fail in rather extreme accident conditions,
22 should they experience that out in the public domain.

23 Transportation packages are not like reactor
24 vessels, but are surrounded by a containment of high pressure
25 injection and containment spray and all these defense in

1 depth systems, plus a cadre of nuclear trained personnel that
2 can immediately come to the scene. These packages are in
3 normal commerce. They are in transport on the highways and
4 rails. I live a hundred yards away from a main rail line
5 that is likely to have quite a number of these shipments if
6 this large campaign of spent fuel ever gets moving. So this
7 is a very, very important part to ensure that the thing is
8 built the way it was designed and approved.

9 Now, in the area of physical protection, which
10 we'll talk on later, what we do is to look at the route
11 that's been selected through the process, whether it's
12 highway or rail, to see that the appropriate safeguards
13 contingencies are available and in place from a physical
14 protection standpoint. And even right now where we're in a
15 very quiescent stage, it's interesting to note that we do
16 about 15 route approvals a year in terms of safeguards
17 routing, and most of that is for, I would say, for research
18 reactor fuel.

19 Finally, we've got the explicit authority to
20 enforce DOT regulations, and we make use of that. I would
21 like to think that at times, we've become necessarily the bad
22 cop, but at any rate, our inspectors are free to enforce all
23 of Title 49, as well as our own component of the regulations,
24 and we get into some of those issues.

25 Emergency response, we're primarily an advisory and

1 an assistant, and I'll talk about that later.

2 The next two, I'd like to propose that we skip
3 because I think Rick Boyle covered them. They're all on the
4 MOU, so if you could flip past that, I know that the text is
5 a little bit different, but it really doesn't say anything,
6 and I think we're already a little bit behind. So with your
7 permission, Mr. Chairman, I'll show the next one, which
8 involves a little bit of statistics.

9 The NRC is directly concerned with the bottom row,
10 the Type B packages, and you can see the accident history
11 there. Incidentally, the time span, we should have labeled
12 it, but it's from 1971 to 1995. The different types of
13 packages shown there, as you go down the left-hand column,
14 the design requirements become more and more stringent
15 because the package contents are higher in terms of their
16 relative radioactive material hazard. So the Type B are the
17 most robust. And you can see also that those types of
18 packages not only have fewer accidents, but their failure
19 record, failure being a breach of the package or a violation
20 of a fundamental design basis like criticality, so far has
21 been zero.

22 The other packages don't have the same
23 requirements, so some of them have been breached, but the
24 contents are relatively modest. I'm not dismissing that as a
25 non-event, but it's the sort of thing that you can't get an

1 immediate or even a near-term public health and safety
2 consequence.

3 We typically use a figure that there are about 3
4 million package shipments a year, but I must tell you that
5 some of them in the small quantity range are not really
6 recorded. They're just in normal contents and have such
7 modest quantities of material that they aren't tracked in
8 such a fashion that there's a nationwide reporting system.
9 We're trying to do a re-estimate of that package shipment
10 rate, and I expect it's going to be higher, but there will
11 always be some uncertainty in that number, It's not within
12 an order of magnitude, but if you're looking for a couple of
13 significant figures, I doubt if you'll ever get it. That's
14 not true for the Type B packagings where we can tell you
15 those shipments quite accurately.

16 I mentioned that the design basis includes two main
17 parts; the normal conditions, and you see the list here. Let
18 me just give you an idea of what those mean a little more
19 explicitly. The package is assumed, like the high heat load,
20 to be in a 100 degree Fahrenheit day, plus full solar
21 insulation, and the solar heating being absorbed into the
22 package contents. Cold is minus 40.

23 The increased or decreased external pressure is
24 really meant to accommodate air travel as the package goes up
25 and down through the atmosphere that the plane experiences.

1 The free and corner drops are meant to consider the
2 normal sort of drops that you would have in handling, like in
3 warehouse situations. There's several feet both onto the
4 sides and corners.

5 Compression is designed to include the fact that
6 many packages may be in the same shipment and, thus, their
7 weight adds together and that you may get some sort of effect
8 there.

9 I might say something else about these design
10 parameters because people like to quibble with them, you
11 know, and say, well, let's go up to 125 degrees, it gets that
12 hot in the middle of the Arizona desert, and all that sort of
13 stuff. All that is true, but the conditions aren't just U.
14 S. borne. These are really international standards that are
15 adopted by the International Atomic Energy Agency, and then
16 intended for really subsequent adoption by all competent
17 authorities, such as Mr. Boyle. And in this country, we do
18 that through the rule-making process where both DOT and NRC
19 changed their appropriate rules to modify these standards.

20 So at any rate, I feel compelled that if we were to
21 look at one of these standards and perhaps want to modify it,
22 to consider very seriously whether that would need prior
23 adoption by IAEA. In actual fact, there's no legal
24 requirement that we do that, and there's times that we can
25 and have deviated from those. But I think we have to be

1 cautious, because there is the weight of the scientific
2 understanding of the international community that is present
3 in these values.

4 In addition, for some, in fact many types of
5 packages, they will in fact cross international boundaries,
6 and you can imagine the chaos you would have at customs
7 points if you had to be shifting packages, you know, Canada's
8 particular package for a type of material into ours, and all
9 that sort of thing. So the international nature of these
10 standards I think is admittedly a little bit of a two-way
11 sword. It has the advantage of this large consensus, but it
12 also causes us to be cautious about making unilateral changes
13 that might seem initially attractive.

14 The accident conditions involve a 30 foot drop onto
15 an unyielding surface. That's a very extreme accident from
16 an engineering standpoint, because of the unyielding surface.
17 All the energy is reflected back into the package. In
18 reality, there are no unyielding surfaces. No soil, no rock,
19 no boulders, no bridge abutments are unyielding, especially
20 when hit by a railroad train. But from an engineering
21 standpoint, it's very difficult to predictively and
22 repeatedly quantify real surfaces in terms of their
23 performance and their dynamic loading situations such as this
24 impact. So, thus, the structural engineers yields ago picked
25 this particular criteria.

1 A puncture is onto a pin from a drop of 40 inches,
2 and then there's the half hour fire at 1475 degrees.
3 Incidentally, those tests or accident conditions are all
4 sequential. The same package has to have the same damage
5 sequence. So it is intended to represent to some degree a
6 particular accident sequence. In some cases, you may not
7 have a fire, you may not have a puncture, the puncture may
8 not be just so, but nonetheless, this is intended to be
9 representative of a fairly extreme accident.

10 There are acceptance limits on leakage after the
11 accident sequence, and they're quite small. These are
12 spelled out in the regulations and amount to a so-called A2
13 quantity that's radionuclide specific for each week, and we
14 adopt the quantities that the International Atomic Energy
15 Agency has adopted, and changed those from time to time based
16 on changes and updating into the dose calculations.

17 Subcriticality of course is important, again
18 because the package is out in the public domain.

19 Now, Earl is putting sort of the list of available
20 casks for spent fuel. It's not very long, and there's all
21 these acronyms that the vendors have come up with, and I
22 don't want to talk about the design of each of these. Some
23 are rail; some are truck. There's something very significant
24 to know here, especially for people on this Board.

25 The actual fleet available in this country is

1 minuscule. We're talking onesey-twosies of all these cask
2 designs, and some of them are so-called grandfathered so they
3 can't be built again. They're based on a much earlier
4 version of the international regulations, so it's unlikely
5 they could survive a licensing review of the new standards.
6 And so if there's going to be movement of spent fuel in this
7 country, we need a new fleet, and this hasn't changed very
8 much in the last few years, but there's something in the
9 offing; applications in-house at the NRC. And these are all,
10 interestingly enough, dual purpose.

11 In other words, the fuel would be loaded at the
12 reactor plant, stored there for some number of years, or
13 maybe hopefully a small number of decades, and then moved in
14 the same package. An over-pack may be added or something
15 like that, but the thing is you don't have to transport the
16 spent fuel from the storage canister to the transport
17 canister. That's the design basis for dual purpose. And you
18 can see here we have quite a list of applications that are
19 all in-house and undergoing active review in my group. I'm
20 not going to predict the outcomes of any of these or give any
21 dates. I'll just tell you they're in very vigorous review,
22 but we're not five years away. You know, it's months, or a
23 very small number of years. Some may fall by the wayside,
24 too, that sometimes happens.

25 Now, I'm going to talk for a few minutes about what

1 I in my job find to be my biggest problem, and that's the
2 performance of the vendors. When I use that term, I mean
3 cask designers and the fabricators, and by implication, and
4 really by required quality assurance oversight, the
5 utilities. They're buying and paying for these things.

6 This tale of woe that I'm going to mention isn't
7 true in all cases. There are examples where there's
8 outstanding fabrication going on. The casks that have been
9 loaded, the storage casks that have been loaded are
10 performing well within their design basis. That is, things
11 like radiation exposure rates on the surface are factors of
12 two or three lower than predicted. Heat transfer remover
13 rates are typically about 50 per cent high. I base that on
14 measurement of the delta T across the convective chimney for
15 some of these that have natural convection heat removal.

16 But nonetheless, in some cases, we've had problems,
17 and the problems stem in two areas programmatically. One is
18 the design output information, that is, the drawings, the
19 notes on the drawings, the fabrication specs, the
20 instructions of requirements for welding, concrete aggregate
21 selection and mixing, all these kinds of things. In some
22 cases, those instructions are a bit vague. Although the
23 design is good, there's not enough--in my own opinion,
24 there's not quite enough for the fabrication shop to easily
25 stay out of trouble.

1 Another factor is that although the fabrication
2 shops tend to have all the paper that shows that their QA
3 programs are perfectly acceptable, they're a bit out of
4 practice. I mean, there isn't much nuclear construction of
5 any kind going on here. People aren't building high pressure
6 injection pumps. Occasionally you get a new steam generator
7 built, you know, or a new diesel engine, but there's not this
8 wave of nuclear quality construction that we experienced in
9 the Sixties and Seventies, and that stems to all kinds of
10 things if you think about trying to keep a fabrication shop
11 alive, first of all, maintaining the procedures current and
12 up to date, the qualification and proficiency of the crew,
13 you know, they may be able to pass a written test, but how
14 many times have they done this type of weld.

15 So we're seeing this thing show up, and we're
16 seeing it show up with problems with welding and non-
17 destructive evaluation, with an improper selection of a paint
18 that tended to cause a lot of hydrogen evolution when the
19 cask was lowered into the spent fuel pool, and finally an
20 improper puncture test on a radiography camera. All these
21 things undermine this, you know, one or more elements of the
22 safety basis for the design, and it required us to issue
23 directives that would stop work at fab shops or design
24 activities or require firms to embark on some rather
25 expensive, elaborate and lengthy get-well programs. And some

1 of them--actually, none of them are done that we've
2 straightened out, the ones that we've started. You know,
3 those sort of document our opinion.

4 The last thing, 72.48, is a part of the storage
5 rule which involves changes to the design that can be done by
6 the designer without NRC approval, prior approval, provided
7 the change does not constitute a so-called unreviewed safety
8 question. And those of you on the reactor side are familiar
9 with it. This is a virtual identical analog to 10 CFR 50.59.

10 So when we delegated, you know, even partially this
11 rather important activity, we expect it to be done properly.
12 In some cases, it hasn't, so we've landed on that one pretty
13 heavily.

14 Mr. Boyle was kind enough to mention several times
15 that we can enforce DOT regulations, and this slide gives you
16 some facts associated with that. You can see our particular
17 regulatory cite wherein we incorporate Title 49. Then we do
18 about 2000 different types of inspections a year, and most of
19 them include at least a brief look at transportation
20 activities. Most of these inspections that I'm talking about
21 here, unlike the other ones, are at the licensees where
22 they're loading and packaging and filling out the manifests
23 and the attended paperwork, some at the receiving end, so
24 that's what these are about. That's all on that.

25 Let's go to the next issue, which is, we touched on

1 a little bit in the public's right to know, and that's the
2 issue of protection against sabotage, theft or diversion. I
3 certainly can talk about this for a while, but I would like
4 to let John Cook know about this--or talk about this. He
5 much more versed in the subject than I. But let me mention a
6 couple things to think about that are a bit more general, and
7 first, the spent fuel cask is very, very robust, very large,
8 very heavy. It's not the sort of thing that's easily
9 accessed in any fashion because of its mass and its inherent
10 strength, yet of course it's not completely impenetrable to
11 extreme cases.

12 The other thing is it's not very easy to steal.
13 You don't find too many people running around stealing
14 trains. I know that happens in the movies sometimes, but if
15 you're interested in really stealing the material, there are
16 much more inviting ways to get the material than stealing a
17 spent fuel cask, whether it's truck or rail. Now, I don't
18 want to dismiss that as a possibility, because we have all
19 this protection in place in case it may happen, but it's
20 still--it's quite a challenge, and certainly it's never going
21 to be the sort of thing that a prankster is going to make any
22 headway with.

23 The other thing to keep in mind is that there are
24 also many other materials out there that are very, very
25 hazardous, in fact, I would argue are far more hazardous than

1 spent fuel, and they're in normal commerce. And of course my
2 colleagues at DOT, as I understand it, spent a great deal of
3 their time worrying about those materials far more than spent
4 nuclear fuel, even if we get this large campaign of some tens
5 of thousands of shipments moving.

6 Now, having said that and sort of implied that
7 perhaps a terrorist might be more attracted to these more
8 common shipments that are not in accident resistant packages,
9 I might add, at all, I don't know that--certainly I can never
10 get inside the minds of a terrorist and tell exactly what
11 they're going to do, but if they're thinking about killing
12 people, this is one of the worst targets imaginable.

13 Mr. Cook? Why don't you make yourself comfortable
14 there. You're only on for a slide or two.

15 COOK: I'm John Cook of NRC, the Spent Fuel Project
16 office.

17 Just to provide a brief introduction to the
18 physical security program that we have at NRC, as Charlie
19 mentioned, when you build the cask, in order to make it
20 comply with all the accident testing provisions in order to
21 make them accident resistant, you end up with a very robust
22 package. That's just the way they're constructed. So these
23 things are very robust. They can be highway packages in the
24 40 ton range, railway packages into the 100 ton range and
25 beyond, and although they're not designed to withstand,

1 there's no particular design requirements with respect to
2 protection against sabotage, their mass in construction and
3 the material that they're made of nevertheless provides that
4 they provide a very considerable degree of protection against
5 sabotage.

6 But the point here is that we don't rely on the
7 packaging alone. We have a program in place to provide
8 additional protections against sabotage. And as the slide
9 indicates, the basic objectives here are to minimize the
10 likelihood of sabotage in the first place, or other
11 malevolent act, and then should such an event occur, to
12 facilitate location and recovery of those packages.

13 The basic approach is to provide detection and
14 assessment of any attempts to gain access or control of those
15 shipments. That's kind of working in the background at NRC.
16 We maintain liaisons and relationships with the Federal
17 Bureau of Investigation and other intelligence agencies, and
18 in the event that they should identify a threat against a
19 spent fuel shipment, we would be advised of that and take
20 action accordingly. But I would add that so far, at least to
21 date, we have received no such identification, although
22 should one be identified in the future, that information
23 would be passed on to us.

24 As far as when the packages are out and in
25 transport, the principal response is to provide the

1 capability for those shipments, to notify response forces
2 that they've encountered a difficulty. And as we'll see in
3 the next slide when we talk about the actual means, physical
4 means in place to protect the shipments, we'll see how that's
5 accomplished.

6 And then finally, there are measures in place to
7 try to impede the sabotage attempt in the first place, those
8 being principally through advanced arrangements with local
9 law enforcement agencies about the shipments, providing
10 notifications to state agencies about the shipments, and
11 finally, there's some physical means as well.

12 So if we go to the two slides on physical
13 protection here, speaking briefly about our requirements,
14 which are found, as indicated, in 10 CFR, Part 73.37, we have
15 a series of requirements which come into play when an
16 applicant comes to us and requests approval for a spent fuel
17 shipping route.

18 The first thing that the applicant must demonstrate
19 is that they have a communications center with redundant call
20 capability from the shipment. Normally, that's accomplished
21 these days by a mobile phone and cellular phone.

22 I might mention that in addition to these
23 communications requirements, most of the trucking companies
24 now use satellite tracking for logistical purposes. That is,
25 they have devices on board their trucks whereby they can keep

1 track of their presence in realtime. Now, there's no
2 requirement in our rules for those devices, but they still
3 provide yet another form of communication between the
4 shipment and the shipper. The shippers are required to call
5 into the control center every two hours during the shipment's
6 progress.

7 There are escorts with all of the shipments. As a
8 practical matter with truck shipments, for example, there's a
9 driver and an escort with the driver. They are trained and
10 they have written procedures as to what to do in the event of
11 an incident. When the shipment goes through urban areas,
12 armed escorts are required for those areas. Urban areas are
13 identified through the U. S. Census Bureau. They have
14 urbanized areas defined in the United States. What triggers
15 the escort requirement is that portion of the route that
16 passes within three miles of that urbanized area is where the
17 escorts are required. Normally, again as a practical matter,
18 armed escorts are off-duty state or local police, but the
19 shipper has arranged to be present for the shipment.

20 We coordinate during the application process with
21 local law enforcement agencies. The purpose here is to make
22 sure we have identified who is the appropriate contact at
23 each point along the route. Should you encounter difficulty,
24 who do you need to call, and also to find out whether there
25 are any route construction underway, or other activities that

1 might interfere with the shipment.

2 We have requirements for advanced notification to
3 both the NRC, which occurs ten days prior to the shipments,
4 and for state governors, which occurs seven days prior to
5 shipments, and also a route approval process, some of which
6 I've already described. But basically, applicants in
7 submitting their route approval request to us need to
8 demonstrate that they have complied with the Department of
9 Transportation's routing rules which you heard described
10 earlier. They need to arrange for the armed escorts in urban
11 areas, and to provide--well, to protect safeguards
12 information, that being information regarding the time of the
13 shipment, and the safe havens identified along the route.

14 If a route has not been used recently, the NRC will
15 survey the route, that is, inspectors from our regional
16 offices will physically drive the route. Basically what
17 they're trying to do is check for any communications gaps and
18 to identify what we call safe havens, which are places along
19 the route which a shipment could be pulled into in the event
20 of an unforeseen difficulty.

21 If the applicant's application meets all of these
22 requirements, we'd issue them an approval for the shipment,
23 which is valid for two years, and it is renewable.

24 In part of their planning, they need to consider
25 avoiding intermediate stops. These shipments all go pretty

1 much straight from origination to destination without stops.
2 And, finally, there is a requirement for vehicle
3 immobilization on truck shipments. That's a device which if
4 activated, prohibits the vehicle from moving for 30 minutes.

5 Again, we do have some published information about
6 the shipments. Last point, we have a circular on information
7 that we compiled about spent fuel shipments called NUREG
8 0725, and that's readily available and describes the numbers
9 of shipments and provides other statistics. That's a brief
10 introduction on physical security.

11 HAUGHNEY: Thank you, John. That circular is updated
12 yearly.

13 Earl, you and I will swap spots for a moment. I'll
14 even turn your slides.

15 EASTON: The last topic we wish to cover is the NRC's
16 role in emergency response. This has been a role that has
17 been misunderstood over the years, and I think it is
18 important that we go over it to say what we do and what we,
19 as importantly, don't do.

20 But to put that in context, let me go through what
21 happens should an accident occur real quickly. An accident
22 may occur. The truck driver, somebody passing by will
23 typically call the state police, the fire department, et
24 cetera, et cetera. It is those guys that actually do the
25 responding in 99.9 per cent of the cases. When they get to

1 the scene, these people are trained to look for shipping
2 papers. They're trained to look for placarding. They're
3 trained to look for other indications of identification of
4 what is being shipped in that particular truck or train.

5 These regulations fall under the Department of
6 Transportation. They're more or less uniform for all
7 hazardous materials. There are some particular things that
8 apply to radioactive material. But a state policeman or
9 fireman will get to the overturned spent fuel cask, they'll
10 look for a placard. They'll see a U.N. identification
11 number, that from that number, they can go to what is known
12 in DOE parlance the Yellow Book, it's the emergency response
13 guidebook that's updated every three years. They'll get the
14 number off of the placard. They'll go and be able to have an
15 idea of what the contents is and what the proper response is.

16 Again, local responders receive training in this
17 book. They also have a number that they can call, which is a
18 requirement on the shipping papers. It has to be a 24 hour a
19 day manned emergency response number, that once you get
20 access to the shipping papers, you can call and get whatever
21 information, emergency response effort that you need.
22 There's also a clearing house called CHEMTREC. It's a 1-800
23 number that you can call in and tell them what you see on the
24 shipping papers or what you see on the placarding, and they
25 will give you advice on how to respond.

1 Often times, the event is called into the other
2 NRC, the National Response Center, and through that vehicle,
3 it makes its rounds to the NRC and DOT. And we all are in
4 the loop at some point.

5 Typically, if it's a severe accident, the state
6 police or firemen who respond will take it up to the state
7 radiological control officers. It will be escalated up to
8 the state. At some point if it's beyond the capabilities of
9 local or state, then the feds can be called in to either
10 offer advice or assistance, and there are mechanisms in place
11 to do all of these things.

12 And this leads us to the first slide, after this
13 introduction, it leads us to the first slide. We have a
14 Policy Statement, which I'll go over very briefly. It's
15 actually the second slide. But we have a Policy Statement
16 that was in the Federal Register issued in the mid Eighties
17 that's very detailed, defines the NRC role in emergency
18 response. So guidance is out there for all to see.

19 We did a survey in 1990, and it looks like this.
20 We went and did a questionnaire, a pretty detailed
21 questionnaire about each state or tribe, we identified some
22 tribes, about their capability to respond to events. This
23 was done by Indiana University in 1990, and basically their
24 answer was that yes, all states and the tribes that we looked
25 at had systems in place to respond. So I think it was a

1 verification we felt that the system was working as designed.

2 And the last bullet is there is an overall Federal
3 Radiological Emergency Response plan, and what this plan is
4 is a coordinated plan by agencies at the federal level on how
5 to deal with accidents. It defines the roles of agencies.
6 It defines how the federal effort is coordinated.

7 And basically, the point I would like to make, this
8 is a way for states to call upon the federal government for
9 assistance. For example, one of the elements in this plan is
10 that if the states don't have the capability to respond to
11 large accidents, they can call and preposition DOE response
12 teams to come and actually respond to accidents. You might
13 think of a spent fuel accident, if there is ever a very
14 severe one, might fall in this category. But this is a
15 written down method by which federal agencies exercise their
16 role in what would otherwise be local or state jurisdiction
17 actions. Enough said on that.

18 The final slide, these are just bullets that come
19 out of the NRC policy on emergency response. It assures that
20 if we learn of the accident first, that we notify all these
21 other entities. It tells the states that we are standing by
22 willing and able to provide technical information on the
23 packages that we certify, which is a large part of what we
24 do.

25 We also have an emergency response center that we

1 would activate, and it's basically staffed by technical
2 experts standing at the ready of a state, local government,
3 et cetera, for any assistance we might offer.

4 And this is a--the last bullet is very important.
5 We will assume control of the scene only if we're notified
6 first and get to the accident first, which almost never
7 happens. the implicit assumption is the state and local
8 authorities are trained and in place to provide the initial
9 response.

10 So those are basically the points I wanted to make
11 about the NRC role. It's a very narrow but well defined
12 role. And I guess with that, any questions?

13 ARENDR: Questions? Dan?

14 BULLEN: Bullen, Board. I have sort of three quick
15 questions for Mr. Haughney.

16 As a reactor director and someone who realizes how
17 license modifications need to be made, or license amendments
18 need to be made, do you feel that you have the staffing? If
19 you're doing 100 amendments a year, and I've been waiting
20 very patiently for my amendment, by the way, if you do 100
21 amendments a year, do you think you'll have the capability
22 when the regional servicing agent, regional servicing
23 contractors come into play, to do that evaluation, or are you
24 going to have to have a significant staff up in your
25 department to do that?

1 HAUGHNEY: That's an excellent question. Let me just--
2 I'm going to have to answer the question a couple of
3 different ways, and it may not be as directly as you would
4 like.

5 The budget process that we go through, which is
6 pretty much the same as the rest of the government, as I can
7 see, although we have the advantage of being an independent
8 regulatory agency, at best the minimum time out in the future
9 that I can look at is two years away. So it's in the two to
10 five year time frame that we do our budgeting, and then I
11 have a chance to argue.

12 I have found in this job that virtually nothing
13 comes true that you budget for, and all kinds of different
14 things do. And of course people say, well, that's happened
15 all around Washington for decades, you know, you play the
16 game anyway and you hope you've got enough staff to do the
17 job.

18 To be honest, I'm a little bit in that mode, just
19 based on this reality of what's going on. For instance, the
20 whole reason I've got a staff of what is it now, Earl, 55 or
21 66, up from 20 two years ago--that's right, the federal
22 government, and we actually grew--the only reason I have it
23 is because of the Multi Purpose Canister, the MPC, which of
24 course was this program, the burgeoning program that was
25 going to at least solve the intermediate stage of the spent

1 fuel crisis. I don't have an MPC application in house.

2 So I think if these regional initiatives come,
3 that's going to put a strain on us. But what I expect to
4 happen is that some of the--one large application, what I
5 used to call the elephant in the canoe, has gotten out of the
6 canoe and now everybody else is jumping in. And so that's
7 probably a little tougher to plan for and manage.

8 BULLEN: You just led right into my next question, if
9 you don't mind if I--

10 HAUGHNEY: No, go ahead.

11 BULLEN: As you talked about the dual purpose cask
12 licensing, does that include burnup credit for the fuel in
13 the transportation, or are you going to require burnable
14 poisons included, which means you'd have to put the burnable
15 poisons in at reactor before you closed it up?

16 HAUGHNEY: The whole issue of burnup credit is hinging
17 on a topical report which the Department of Energy submitted
18 to us a couple of years ago, and it's in active review. In
19 fact, we're about to send out another round of questions now,
20 I might say a much smaller round of questions than the first
21 time. I'm confident that the Department's burnup credit
22 topical will eventually be approved. I have to sort of see
23 how this round goes. It's very crucial to telling timing.

24 If that's the case, presumably, that topical can be
25 referenced by a whole variety of cask designs, either the new

1 ones or in terms of amendments. Now, I'm sure there will be
2 certain cases where it won't be as useful, and it's also
3 depletion only, it doesn't have poison buildup and some of
4 those sort of things. But that's going to make, if that gets
5 approved and it works for a given cask designer, that may
6 well in many cases eliminate the need for installed burnable
7 poisons.

8 BULLEN: And then finally, could you comment on the
9 lifetime of the interim storage cask, or the dry cask
10 storage?

11 HAUGHNEY: It's an excellent question.

12 BULLEN: Licensed for 20 years potentially, extended to
13 40 years, and specifically I'm interested in how the NRC is
14 going to evaluate long-term evolution within the container.
15 They're not always dry. There may be water. There may be
16 enhanced degradation of the fuel elements inside, which means
17 that if I transport it early, I wouldn't have problems, but
18 if I wanted 40 or 100 years, do I know what the evolution is,
19 and how would you license that? I guess that's a tougher
20 question for you.

21 HAUGHNEY: Well, I think you gave me about eight of
22 them. I should have been taking notes.

23 Administratively, legally, we can renew the storage
24 certificates an indefinite number of times procedurally. But
25 obviously we need a sound technical and safety basis for

1 doing it even once. The first renewal will be in the 2006
2 time frame when Surry Station comes up for license renewal.

3 The fact is about a year ago, we had started the
4 early scratching in the dirt, so to speak, of the composition
5 of a research program in the NRC parlance, confirmatory
6 research, that would address the question that you asked
7 about fuel cladding degradation, and how well is the helium
8 holding, these kinds of things. Can it go for another 20
9 years, or as the Congress might tell us, for 100 years? You
10 know, that's the technical basis for those kinds of licensing
11 terms.

12 I've had some informal discussions with EPRI on the
13 same subject, and they seem interested in working on those.
14 So that's something we need to dust off and work on more
15 urgently in the midst of these kinds of budget questions you
16 were raising earlier.

17 BULLEN: By the way, there is an EPRI draft report that
18 should be coming out soon on essentially identification of
19 the types of research necessary to do the extension. I don't
20 know if you've talked to John Kessler about that, but I know
21 that that's in the works.

22 HAUGHNEY: Thank you. Did I answer your question?

23 BULLEN: Yes, you did.

24 HAUGHNEY: Norm?

25 CHRISTENSEN: Christensen, Panel. A question on the

1 slide dealing with accident history, which I think is about
2 the fifth overhead.

3 HAUGHNEY: Right.

4 CHRISTENSEN: And it is that the, unless I'm
5 misunderstanding, the number of events that lead to accidents
6 among these different package types differs considerably, and
7 yet the number of accidents is roughly in the same order of
8 magnitude, which implies a very significant difference in
9 accident rate. Am I misinterpreting that, or is it something
10 I don't understand? The question I would have is if--what is
11 the number of events, that is, are these travel events, and
12 how does that relate to the accident rate?

13 HAUGHNEY; Okay. Well, the one thing we didn't show
14 were number of shipments. Most shipments of course are
15 unscathed, and that's the one I was talking about in the 3 to
16 5 million a year where you've got some uncertainties. These
17 accidents are real events. These are accidents that have
18 been recorded into the system, into NRC, or maybe it's a DOE
19 shipment, and as a matter of fact, Sandia tends to collect
20 all these as best they can, I think they do a terrific job,
21 and compile them. The packages involved are larger if you
22 can have multi-package shipments. So that's why you don't
23 see a correlation between those two columns.

24 But the number of packages that have failed then,
25 for instance this case would be, on the top, strong/tight

1 packages, 76 out of 1,354 packages that experienced an
2 accident over a 20-whatever it was--25 years.

3 CHRISTENSEN: I guess the question really comes down to
4 the number of shipments.

5 HAUGHNEY: If you're going to do a risk assessment, you
6 really need the number of shipments, in fact shipment miles.

7 CHRISTENSEN: Well, the sense that I had is that the
8 differences might be over as much as three orders of
9 magnitude between the different package types, that the
10 strong/tight might involve literally, over that period of
11 time, millions?

12 HAUGHNEY: Yes.

13 CHRISTENSEN: Whereas, the Type B might involve, over
14 that period of time, a thousand, which would imply, given the
15 same number of accidents, a three order of magnitude
16 difference in risk, that is, the risk of an accident, and
17 that's what I'm trying to understand.

18 HAUGHNEY: Well, the risk of Type B is zero for 25
19 years.

20 CHRISTENSEN: Well, there are 55 accidents.

21 HAUGHNEY: Yeah, but nothing happened. There's no
22 consequence.

23 CHRISTENSEN: I understand. But there were 47 accidents
24 in the strong/tight. I understand that nothing happened, but
25 there were 47 accidents and there were 55 accidents, I

1 understand that--

2 HAUGHNEY: Okay, I see what you're saying.

3 CHRISTENSEN: --there were no failures. But why is the
4 number of accidents roughly the same between those two.

5 EASTON; The reporting of these accidents is an
6 imprecise science. They're reported according to the
7 regulations, which involve the amount of property damage,
8 whether lives were killed, people injured or killed, and
9 suspected leakage or damage. So there's some events that are
10 reported because the property damage is high. Okay? Because
11 if you have a spent fuel truck, you might overturn the truck.
12 There's some because if you're shipping a very high package,
13 a person was involved in a traffic accident on that. So it's
14 a very imprecise science and they're not really reported all
15 on the same basis.

16 CHRISTENSEN: That really in a sense answers my
17 question, but then begs a much more important question in
18 terms of how to use and interpret this kind of data. If one
19 wants to ask the question, and I again acknowledge that in
20 the Type B situation, there were no failures, so
21 acknowledging that, the data still imply that the accident
22 rates, assuming that an accident is defined in the same way,
23 which you're telling me they are not, but if the accidents
24 were defined--an accident was defined in the same way, this
25 would imply to me that the chance of an accident occurring,

1 regardless of failure, is roughly three orders of magnitude
2 higher for Type B. And I only suggest that if we're really
3 going to look at this issue of risk, that we examine that
4 issue very closely.

5 Let's assume that we have 60 accidents and there is
6 in that 60, one failure, or 100 accidents and there's one
7 failure, that would still tell me that the chance of, from a
8 risk standpoint, of Type B would be considerably greater for
9 Type B than for strong/tight. So we need to denominate this
10 kind of comparison a little bit more carefully before we can
11 really make these comparisons.

12 HAUGHNEY: I wouldn't try to make those comparisons
13 because of the weaknesses in the data, and I think your point
14 is an excellent one. And we're attempting to get a better
15 denominator to normalize the information in a more precise
16 fashion. Later this morning, I believe Larry Fischer has a
17 presentation on accidents in the Modal study, which is the
18 closest thing we have to a risk type assessment, and as a
19 matter of fact that we're looking at improving and updating
20 and making more precise. This was simply a very coarse
21 illustration. Remember that these rules are deterministic.
22 They are not based on risk.

23 ARENDR: The second session that's going to start will
24 involve risk and discussions of risk. I think this had
25 really nothing to do with risk. So, Woody, do you have a

1 question?

2 CHU: Yes, I'll make it short. This is Woody Chu on the
3 Staff.

4 Charlie, you had a chart on the existing fleet of
5 casks and also the cask designs that are in the pipeline, and
6 you made the point that the existing fleet can carry very,
7 very little, and so if you want to gear up for any kind of
8 meaningful movement, you had to go to the new fleet. What is
9 your estimate of--I mean your estimate as to when we can get
10 a meaningful new fleet up to speed of the kind that's kind of
11 envisioned in people's minds pending legislation, or
12 anything, let's say in round numbers, 1000 metric tons a
13 year?

14 HAUGHNEY: It could be done in a few years, but there's
15 a demand issue, aside from the licensing, which will be over
16 before that, and that's, you know, is there a location to
17 ship the material, and then you have to complicate this by
18 the fact that those applications were showing were the next
19 one, the dual purpose casks. And what they're really being
20 procured for today is storage, with an extra, with an
21 automatic transmission. They're being procured so they can
22 move whenever, but there is no site for interim storage.
23 That legislation got close, but with the threat of a--

24 CHU: No, my question was really not one of whether
25 there's a site or not. I'm talking about only one of in

1 terms of your assessment as far as capabilities are
2 concerned.

3 HAUGHNEY: Oh, I see.

4 CHU: You know, given that they have to be certified,
5 they have to be manufactured in meaningful quantities, given
6 that there are QA fabrication requirements as well as ramping
7 up difficulties, which you have alluded to, in other words,
8 obeying laws of physics, so to speak.

9 HAUGHNEY: Conservation of mass?

10 CHU: Yes.

11 HAUGHNEY: Well, there's no question that this fleet can
12 be ready before Yucca Mountain will be ready. Designs are in
13 active review right now, and the vendors are pursuing them
14 vigorously.

15 CHU; Someone in here mentioned before the Red Sox and
16 the Chicago--

17 HAUGHNEY: That's true, and the Cleveland Indians, I
18 might add, before they win another World Series.

19 No, I think the licensing will get out of the way,
20 and then it's a question of who's going to buy them? What
21 are they going to use them for? You know, is the Department
22 going to start procuring those? What fraction of money do
23 they get out of the collected nuclear waste fund, how much is
24 held in escrow? You know, all these kinds of questions I
25 think become predominant in deciding whether or not we're

1 going to have a fleet ready.

2 But I think it's important to note that this first
3 step, the licensing has got to get out of the way, and then
4 at least some of them have to even make sure they're
5 buildable. A lot of times a design looks pretty good on
6 paper, and you try to build it and it's not so easy, and then
7 handling activities. So I am the last person on earth that's
8 going to give you a schedule. I just won't do it because
9 they don't come true. Look what happened to Dick Hannon. He
10 got vilified earlier today.

11 ARENDR: We're beginning to run a little bit behind, so
12 let's have a couple more questions. Paul?

13 CRAIG: Paul Craig, Board. Two questions.

14 First of all, the 30 foot drop test corresponds to
15 30 miles per hour. Would you help me to understand why that
16 is a reasonable test criterion when the transport vehicles
17 are more likely to run at 60 miles per hour, which will have
18 four times the kinetic energy in the collision?

19 HAUGHNEY: The principal difference is the fact that
20 it's a design criteria, not a speed criteria. I know it does
21 correspond to 30 miles an hour, but you can't look at the 30
22 foot drop in isolation. You must look in combination with
23 the impact on an unyielding surface and, thus, all the energy
24 of the impact is reflected back into the package where it can
25 cause the most damage.

1 In terms of comparison with real accidents at real
2 speeds, you'll end up with a spectrum much above 30 miles an
3 hour, depending on the type of surface that's impacted. So
4 it's really an engineering standard that I think has caused
5 and continues to cause for many years sort of an implication
6 that it's from--that it's not really acceptable. But in
7 fact, in terms of dynamic loading, it's very high.

8 CRAIG: Okay, my second question, and I expect we'll
9 hear more about that one, but my second question I think is
10 for Earl, and that has to do with the DOE emergency response
11 which you mentioned. And maybe we'll hear more about that
12 today, but if not, perhaps you could tell me who are the
13 folks who can tell us in detail what capabilities exist for
14 federal emergency response?

15 EASTON: I think for the details, you will have to ask
16 DOE. I know that we have people here from OCRWM program and
17 from some of the other DOE offices. But they have basic
18 capability spread out in different teams throughout the
19 country, and this is recognized as an element of the Federal
20 Radiological Emergency Response Plan. It's something that
21 the NRC really doesn't get too involved in.

22 ARENDR: I might add that emergency response was not to
23 be part of this meeting. It will be handled at some future
24 meetings, although we did want to hear what you had to say
25 about it. But emergency response will be handled in much

1 more detail at a future Panel meeting, along with other
2 safety problems. Jeff?

3 WONG: Jeff Wong, Board.

4 I have a question that's very much along the lines
5 of Paul's first question. And I'm not an engineer so I'm
6 trying to understand the engineering criteria in relation to
7 that 30 foot drop. My question is more like how many times
8 can it survive that 30 foot drop? And I get this question
9 from opposition in California about foreign spent fuel
10 shipment going through the American River Canyon and having
11 the train come off the canyon route and then having the
12 material roll down in the canyon. So I guess what
13 relationship is that criteria to that accident scenario?

14 HAUGHNEY: Well, the criteria is simply a design
15 standard. It isn't--isn't selected on the idea of
16 finding, you know, like the highest railroad bridge, as that
17 one well may be. And it is selected in conjunction not only
18 with the impact on the unyielding surface, which is very
19 conservative, but also with a subsequent puncture to the same
20 package, and then the subsequent fire. So the notion was the
21 following, and again this is for a whole spectrum of package
22 types. Radiography camera are smaller than that viewgraph
23 machine, for instance, you know, up to the large rail cask.
24 The notion was that you would have some sort of an accident
25 while a package is in motion, and the first thing that would

1 happen is it would fall about 30 feet. And to account for
2 the kinetic energy not only of the fall, but of the motion
3 and the varying types of surfaces, a conservative unyielding
4 surface was selected. It's also easier to calculate than the
5 non-linear calculations that would be required for real
6 surface.

7 Then the notion was it would bounce, and it would
8 impact on a large blunt object, this pin, the puncture pin.
9 So it would rise some number of feet, I think it's 40 inches,
10 something like that, I forget exactly what it was, and impact
11 directly on that at the most damaged portion of the package.
12 And then finally the fuel tanks from the conveyance or
13 whatever would rupture and start a fire, and then it would
14 take about a half hour for the local authorities to respond.

15 Certainly there can be transportation accidents
16 more severe than that. And in fact, if we get a chance to
17 hear Larry Fischer, he'll talk to you about how the fact that
18 they've been projected through the Caldecott Tunnel fire,
19 which is way beyond the design basis of Type B packaging, and
20 then what is the projection of the consequences there.

21 So what you have is a standard that's unusual and
22 it has this accident sequence. Any one of the components can
23 fairly easily be projected to see something that's a bit
24 worse, and certainly your example is a good one, and you can
25 make the fire longer or hotter, there's all kinds of things

1 that can be done, but the combination of the two with
2 engineering margins that are present in the design, you know,
3 the margin isn't zero, it's pretty substantial, all those
4 tend to add up to very robust packages that we've seen in
5 service, actually internationally, not just here, that the
6 spent fuel packaging, in spite of the fact they've been in
7 accidents, have performed rather well.

8 ARENDT: Charlie, thank you very much. There may be
9 additional questions, but some of this can be handled
10 tomorrow during our round-table, and so forth.

11 HAUGHNEY: I'll be around.

12 ARENDT: Fine.

13 HAUGHNEY: As will John and Earl.

14 ARENDT: Our next speaker is Jim McClure. Jim McClure
15 is from Sandia National Laboratories, and I'll let Jim
16 introduce himself.

17 MC CLURE: My name is Jim McClure, and I'm going to make
18 a presentation to you this morning on some historical
19 information about spent fuel transport accidents. It's my
20 pleasure to be here to speak to the Board, and for those of
21 you that are in the audience, I hope you had a chance to get
22 a copy of my remarks. They always say know your audience.
23 Well, knowing your audience and knowing the size of the room
24 is always a couple different things. So for those of you in
25 the back, you might want to be referring to some of my slides

1 on the hard copy.

2 I got into this business about 22 or 23 years ago,
3 and I'll tell you right now that the question then and the
4 question now is how good are the regulations. And I have
5 always felt that the regulations were good, quote, unquote,
6 but the thing of it is, it's an enduring question. So I'm
7 looking at the clock, I know where the clock is and where I'm
8 supposed to be, but I'll do the best I can to get us on
9 schedule.

10 I'm going to tell you that basically what we're
11 doing here is sort of weaving a tapestry, and I'm listening
12 to other remarks that have been made, questions that have
13 been asked, and I'll try to address those in the remarks that
14 I make to see if we can weave this tapestry and give a good
15 presentation as to what this is all about when we're talking
16 about how good the regulations are.

17 Now, very briefly, I'm going to lead up to a slide
18 that tells you the transportation accidents involving spent
19 fuel that have occurred in the United States. We'll get
20 there eventually, but I'm going to weave my way down through
21 there, and the point of this slide is we receive information
22 from the federal government at Sandia labs in Albuquerque,
23 bought and paid for by the Department of Energy, but strong
24 interaction has been mentioned between the Department of
25 Transportation, NRC and the DOE. It's always been my view

1 that you really have to know where you've been in order to
2 figure out where you're going, and that's the purpose of
3 harboring this information in databases that we can access.
4 And at the end of the slide, I'll tell you that you have
5 access to those databases as well.

6 Now, the point of this slide; the federal records
7 that come to us on Form 5800s from the Department of
8 Transportation, there isn't a block on there that says was
9 there a transportation accident. That's not the question
10 that's asked. So when we get information into the database
11 from a report from the NRC or from the Department of
12 Transportation, we sit down, we study the report form, we
13 study the attachments to the report form, and we make a
14 judgment. In the case of a transportation accident, we say
15 any accident that involves a vehicle transporting radioactive
16 material. Sweet and simple.

17 And why is it sweet and simple? Because we don't
18 want to get into a big argument as to what was an accident,
19 what dollar damage did you have to have in order to get
20 counted as an accident. We're going to include anything from
21 a minor fender bender to a major head-on collision as an
22 accident, so they're all in there. It's like Prego; it's in
23 there. Okay?

24 So at any rate, we have it also compartmentalized
25 into handling accidents. In other words, did the fork lift

1 drive its tie in through the wall of the container in the
2 warehouse? Yes, those events occur, and we're not going to
3 deal with those in this particular case today, but we count
4 those and we compartmentalize them.

5 And then finally there's the reported incident,
6 what comes to us as a reported incident. We examine that
7 information and decide whether or not it was a transportation
8 accident or handling accident, and then you've got to
9 remember that when people on the outside of the federal
10 government are dealing with the federal government, they
11 probably take the stance that I'm dealing with the IRS.
12 They're a little bit afraid, so they want to cover their
13 backside, and they report things that they don't even think
14 need to be reported just to be safe.

15 So what happens is if you get those reports, it
16 wasn't a transportation accident, it wasn't a handling
17 accident, but we have the report, we just leave it in the
18 reported incident bin, because maybe a question is going to
19 come up someday and you're going to need to deal with it, and
20 you've got it in the database, you'll find it in the search,
21 perhaps by the year, by a state, or whatever. So we're
22 talking about transportation accidents. That's our area of
23 influence today.

24 Now, it's been mentioned earlier, I won't dwell on
25 this, but for the Department of Transportation regulations,

1 if a person dies, if you were transporting hazardous
2 material, if a person dies, you've got to make a report to
3 the government. If a person is injured and requires
4 hospitalization, you've got to report to the government.
5 When you finally get down into here, the situation where for
6 radioactive material, it says fire, breakage, spillage or
7 suspected contamination occurs involving radioactive
8 material, you've got to make a report to the government.

9 Now, what may happen in the situation where things
10 are a little fuzzy at the outset, you've got a deputy sheriff
11 that's encountered this accident, you know, he isn't on the
12 absolute cutting edge of all this information all the time,
13 so he sees a placard and everything goes from there, well, he
14 might suspect that there was a leak, but later it turns out
15 that there wasn't any contamination or release of contents,
16 the report's got to go in anyway, and we'll sort that out
17 later. So this is what happens.

18 Now, the DOT has this hazardous material incident
19 report system, and our data we call the radioactive material
20 incident report system, so you'll see that play on words in
21 gathering this information.

22 This is a part that's been discussed earlier. I'm
23 not going to dwell on this, but there is one point that I
24 would like to make. On those Type A packages down there,
25 that limit value, that A1, that A2 magnitude, let's key in on

1 that. We're going to come back to that later in another
2 slide. That's the limit value of what you can have in a Type
3 A package. We're going to use that value with Type B
4 packages later on to tell you something that I think you need
5 to know. So we're going to concentrate on Type B accident
6 resistant packages. They do have the 30 foot drop test, the
7 puncture test, and all of that. And to answer a question
8 that the Board has asked, let me tell you a little story.

9 A number of years ago, the Department of Energy had
10 a thing called the obsolete cask test program. They did a
11 drop test down at Oak Ridge, and I'm here to tell you that
12 when you read the regulations and you're talking about the
13 drop test, this is sort of ho-hum sounding, because of the it
14 will be dropped on the unyielding target.

15 Now, our unyielding target weighs about 3 million
16 pounds, has structural steel down into the ground encased in
17 concrete and battle armor on the surface of the thing, to
18 make as well as possible what engineering can do in this day
19 and age to make an unyielding surface, but it's so easy to
20 ride over that statement dropped onto an unyielding target.
21 If you see a drop test 30 feet, 44 feet per second, 30 miles
22 an hour, it's kind of a ho-hum thing. But if you actually
23 are down there watching a 12,000 pound cask drop, it's kind
24 of a sensational thing in the sense that 12,000 pounds
25 dropped onto an unyielding target is going to shake the

1 ground, you're impressed with that degree. But even then you
2 might say this is a ho-hum deal.

3 However, what they did in that obsolete cask test
4 program is they took not that same cask, but that same cask
5 design, they brought it up to Albuquerque, hooked it on a
6 helicopter, took it up 2,000 feet, dropped it, and as every
7 gardener in Albuquerque knows, the soil there is like
8 concrete, and if you live in a new development and you
9 haven't had a lot of compost put in there, so this thing fell
10 2,000 feet, had a velocity of 250 or 260 feet per second,
11 embedded itself in the ground about seven or eight feet.
12 When they dug it out, that cask did not have the deformation
13 on its surface that the cask that was dropped only 30 feet
14 onto the unyielding target had down at Oak Ridge. So this
15 kind of gives you a clue about the importance of the target.
16 That's one little story I'll tell you.

17 But at any rate, we'll come back to that issue
18 later on because I know it's an important one for you, we're
19 going to deal with the Type B package, and I will tell you
20 that if you witness tests, if the ho-hum nature of the drop
21 test will get ahold of you, the temperature of a 30 minute
22 fire will definitely impress you if you're anywhere in the
23 neighborhood.

24 Now, you can't read this, don't want you to read
25 this, so read the footnote. NUREG-0725, I regard as the

1 definitive source. I'll give a plug for the NRC here. This
2 is what I regard as the definitive source of information on
3 spent fuel transportation in the United States. I throw this
4 in as a freebie because I figure you just wanted to know
5 about it. Most of them have gone by trucks, most of them
6 have been one element per truck shipment, one cask.

7 This goes and breaks down something that I think
8 you also needed to know. The DOT has been collecting
9 information that we're using since 1971, and in that period
10 of time, they starting keeping count from '79 through '96 of
11 the number of incidents involving all classes of HAZMAT, and
12 this numbers up to 178,000 or so incidents that have been
13 reported to the DOT. Remember that that's a big number,
14 okay? We'll come back to it later on. And we do get a modal
15 breakdown down here, and what I'm going to show you on
16 another slide, this third bullet down here, I'm going to show
17 you the events that we have from 1971 through 1996 for
18 radioactive material experience, and we'll see that the
19 number of total reports that have come in for radioactive
20 material number about 1 per cent of this 180,000 reports that
21 have come to the DOT.

22 As a matter of fact, on this slide, we can look at
23 the information that is really just sort of a supplement to
24 it, Mr. Haughney represented earlier, this goes through 1996.
25 The database keeps acquiring the stuff and keeps adding it

1 on, and we generally try to put out a summary every calendar
2 year. But the number of transportation accidents that have
3 taken place involving radioactive material is 388 through
4 1996. The handling accidents you see, the reported incidents
5 you see, and this total reported incidents, in other words,
6 all of them, the accidents, the handling accidents, the
7 reported incidents, adds up to a little over 1,800. If you
8 divide that 1,800 by 178,000, you're talking about a small
9 fraction of the business that's reported to the DOT that
10 involves radioactive material.

11 Now, what we're leading up to is this. Here's the
12 key slide. If we go into those transportation accidents, and
13 if we look for spent fuel involved in the shipments, this is
14 what it looks like, and the people in the back are definitely
15 going to have to refer to the table. But the point of it is
16 here we have marched on, we had seven in this thing for a
17 long time. We added the one down at the bottom for 1995,
18 December of '95. There is a point to be made here. First of
19 all, the top line represents the accident that was the first
20 occurrence in 1971, December of 1971, a highway accident, the
21 driver swerved to avoid a collision. The truck rolled over,
22 the cask rolled off. As a matter of fact, I believe the
23 driver was killed. But when that cask was dug out of the
24 side of the road and cleaned off, there was nothing more than
25 superficial damage to the cask. There was no release of

1 content. Definitely a tragedy as far as the driver was
2 concerned, but no consequence from the radiological point of
3 view.

4 Now, if you go down through this list, this list is
5 there for you to have as your little shopping list of the
6 events that we've identified as having involved spent fuel,
7 with one comment. We have been a little bit liberal here in
8 reporting this to you because you'll see in the second line
9 down, no, there wasn't any release of contents, it was an
10 empty cask. We included that information because sometimes
11 details get a little fuzzy and somebody says, oh, I heard
12 about an accident out in such and such, and so this way,
13 you've got all of the events whether or not there was actual
14 spent fuel in the cask or not. But if that cask was capable
15 of transporting spent fuel, then we've included it. But it
16 really didn't have spent fuel on board. And I believe that
17 the count on those is something like four of them had spent
18 fuel in the cask, and four of them were empty.

19 So this is the key thing as far as history is
20 concerned. There are about eight events right here, only
21 four of which had the material on board at that time--or at
22 the time of the accident.

23 Now, let's go back to the limit value again. One
24 of the things that Mr. Haughney talked about was the release
25 nature of the cask. And I've done a little example here

1 using the Defense High level Waste cask, which was intended
2 to be a Type B certified package, so it's identified with
3 these standards, and the question was if the post-regulatory
4 leak rate on the cask is an A2 in a week, then what number
5 can we apply to the contents of that cask and see how well
6 that A2 in a week leak rate performs.

7 Well, for the vitrified high level waste that was
8 in that cask, there was .34 curies was the A2 magnitude, but
9 the inventory in the cask was 275,600 curies. So what
10 fractional part of the contents of the cask is the A2? Well,
11 an A2 is .34, divided by the inventory, in other words, on
12 the order of one millionth part of the cask contents could
13 come out of that cask and still pass the NRC leak rate
14 requirements for the hypothetical accident condition.

15 So when the question comes up that you had an
16 accident and it was at 55 miles an hour, and someone says,
17 well, what if it was a 75 mile an hour accident, let's not
18 even consider the unyielding nature of the target, what we're
19 saying here is that after you've gone through all this shake,
20 rattle and roll, thermal testing and whatever, A2 in a week
21 here represents something on the order of one millionth part
22 of the cask contents in this example. And I say that the
23 design reserve that that number tells me says that, yes,
24 that's why we have had no leaks from Type B packages in 25 or
25 30 years experience. It could happen in the future, I

1 suppose, but it's not likely to. At least that's the measure
2 of the design reserve in the cask.

3 Now, to conclude, what I'd like to say is that
4 we've had about eight spent fuel transport accidents from the
5 period of '71 to the present time. Four of those eight
6 accidents involved empty casks, but we've included them in
7 the list so you could look at them. The fact of the matter
8 is when you have access to that information, if you want it,
9 you can read the reports and all the details.

10 Radioactive material incident reports occupy a
11 small fraction of the total of all incidents that have been
12 reported to the DOT. In other words 1,828 events were
13 reported involving radioactive material, and there's 178,000
14 or so that involve all forms of Hazmat.

15 Type B casks have not released their contents due
16 to experiencing the transportation accident environment. And
17 the post-accident leak rate gives us a way of assessing the
18 design reserve in the cask, because the cask may be prolonged
19 to the future, but you can't make any guarantees. This study
20 will figure that accidents do happen, there is a release of
21 contents, and that's the subject for another discussion.

22 If you want this information, since it was bought
23 and paid for by the government anyway, all you have to do is
24 give us a call. We'll make you a TRANSNET user who will have
25 access to the database. The database is called RMIR, meaning

1 the Radioactive Material Incident Report database. And you
2 can call me, but I will turn you over to our system
3 administrator, Fran Kanipe. She will make you a user. You
4 can operate queries from your desk, and see that information.

5 Presently, we're loading into a new operating
6 system, which means that everything that we have from '71
7 through 1997 will be available under the new system in about
8 three weeks. But it's available to you now through about mid
9 1995, and I have it on spread sheets for the interval from
10 '95 through the present. 1996, we had about 114 events.
11 1997, we have about 68 events right at the moment.

12 That's really all that I can tell you. I hope it
13 gives you some idea as to what the experience is. I
14 appreciate having the opportunity to speak to you, and I'll
15 be glad to answer any questions that you have.

16 ARENDT: Norm? Thank you very much, Jim.

17 CHRISTENSEN: This is just a parallel of the question
18 that I asked earlier. If the 1,800 represents roughly 1 per
19 cent of the total number of Hazmat accidents, do we know what
20 the total number of transportation events is? Is it the
21 same? Is it roughly 100 to 1?

22 MC CLURE: Well, let me say it this way. The 178,000
23 represents not accidents, but incident reports that were made
24 to DOT involving all forms of hazardous material. The 1828
25 represents the incident reports to DOT and NRC. We get

1 information from NRC as well. And that's all classes, in
2 other words, transportation accidents, handling accidents and
3 the reported incidents. We analyze it then and break it
4 down. So that 1800 divided by the 178,000 is where I got
5 that 1 per cent value from.

6 CHRISTENSEN: I guess the question I was asking is if
7 we--again, I'm sort of thinking at the large scale, that
8 those 178,000 and the 1800 represent accidents that occurred
9 in connection with transportation events, many of which
10 involved no accident. And the question I have then is the
11 number of transportation events for each of those two
12 classes, radioactive versus non-radioactive hazardous
13 materials, roughly in the same order of magnitude, 100 to 1?

14 MC CLURE: Well, I don't in fact know the number of
15 transportation events in the other hazardous materials. I
16 know their modal breakdown, but I don't know the accident
17 breakdown for those other ones.

18 Now, a point that I would like to make to your
19 earlier question, though, is I think Mr. Haughney showed that
20 we had something like 2200 Type A packages that had been
21 transported, and 73 of them, or something like that, released
22 their contents. This gives us a physical measure of how good
23 a Type B package is. Remember the Type B package is in
24 normal commerce. It can be subjected to accident conditions,
25 and it has been. I forget the number of accidents involving

1 Type As, but the point is is that there were 2200 packages of
2 the Type B classification that were in accident conditions,
3 and only 72 of them released their contents and broke open.
4 that's pretty good for a system that wasn't designed to
5 resist accident conditions. It tells you something about the
6 spectrum of severity for accident conditions involving Type A
7 packages.

8 CHRISTENSEN: Let me just say that the only reason I'm
9 raising it, I have no problem with that, is that I'm not
10 quite sure how to put into comparison the accident rate for
11 non-radioactive events or non-Type B events relative to the
12 Type B events, and it strikes me that the--we may have some
13 differences in terms of how we define a transportation event
14 or a shipping event, and how we define an accident for these
15 different classes. At some point, it's important to
16 understand those if we're going to make comparisons between
17 the chance of something untoward happening with high level
18 nuclear waste versus the chance of something untoward
19 happening with some other kind of waste. And I feel a little
20 bit like we're comparing apples and oranges.

21 MC CLURE: Let me say to you that just in the interest
22 of time, the door is open, the questions have and can be
23 asked, as you are doing, and this is a dialogue that can go
24 on for as long as necessary in order to answer the questions.

25 HANNON: If I might supplement that? This is Dick

1 Hannon with DOT.

2 I'd like to suggest that we could prepare some
3 analyses that would show those differences. The 178,000
4 number is a large number. In a recent year, even '94 and
5 '95, there's something on the order of 13,000 reported
6 incidents. The majority of those incidents can be
7 characterized as just minor leaks. They're not accidents;
8 they're leaks. For the last ten years, there's an average of
9 about 400 that we're internally characterizing as serious
10 accidents, and they are those involving a death, an injury
11 requiring overnight, three day hospitalization, an evacuation
12 of people, closures of major arteries, and things like that.
13 That's 400 out of, say, 12,000, 14,000, but by and large,
14 they're leads.

15 In the nuclear arena, there's much better reporting
16 than there is in many of the other segments. And an
17 incident, DOT's definition, the regulatory one, is any
18 unintentional release. So you could lose a matter of a few
19 ounces, we have incidents of four ounces of formaldehyde
20 delivered to, you know, the high school science lab, that is
21 an incident. That is an incident in that case that requires
22 a response. You know, you say something is leaking with a
23 placard on it at a school, you get a major response by the
24 response community.

25 But I think we can prepare something that will put

1 these numbers in a different perspective. I agree with Jim's
2 characterization of them, but I think, you know, we can
3 answer what's an accident, what's an incident, when is there
4 release, what is a significant release.

5 ARENDT: All right, thank you very much, Jim.

6 We're ready for a break, and why don't we be back
7 at five minutes after 11:00.

8 (Whereupon, a recess was taken.)

9 ARENDT; Our next speaker is Larry Fischer. Larry is
10 with Lawrence Livermore National Laboratory, the deputy
11 division leader, Applied Research Engineering Division. Go
12 ahead.

13 FISCHER: Okay. About 15 years ago, we did the Modal
14 study, and I was the project leader of the Modal study. That
15 was authorized and funded by the USNRC, and they did the
16 study to update the EIS, or Environmental Impact Statement,
17 NUREG-0170, because there were quite a few questions on it
18 with respect to the spent fuel, because at that time, we were
19 going to supposedly start shipping spent fuel to some
20 repositories or to interim storage, and so Congress wanted to
21 know if the regulations were adequate, if the people were
22 adequately protected with the 10 CFR 71 regulations. And so
23 that's why we started the Modal study.

24 I'm going to go over it briefly. Of course we
25 could spend a whole day talking about the Modal study, but

1 I'll try to get through it in about 45 minutes, or a half
2 hour, actually, just go over the objectives and describe the
3 study and the results and conclusions. But I want to talk a
4 little bit about some post-Modal study calculations that we
5 did, because of course it's been over ten years ago since the
6 study was performed, and then I want to talk a little bit
7 about the improved structural and thermal code capabilities,
8 because as was already brought up this morning, well, how
9 good are these computer codes, because most of the study was
10 done by analysis with the DYNA and TOPAZ codes, DYNA being
11 the structural and TOPAZ being the thermal code.

12 The overall objective of the study is put down
13 here. It's right out of the report itself, and basically
14 what we are doing is looking at the protection provided by
15 regulations for the public to see if they are adequately
16 protected, and we were doing this by looking at estimating
17 the protection by using data from real accident histories of
18 similar type vehicles, and models of cask designs that could
19 probably be licensed. And of course we don't have a large
20 database on spent fuel cask accidents. As you just saw this
21 morning, there was only about seven or eight, and so we had
22 to resort to using similar type data for similar type
23 accidents.

24 And what we did in the Modal study is first of all,
25 we defined the accident scenarios and loading conditions.

1 Then we estimated the cask response to the loading
2 conditions--not the lading conditions--and then we did a
3 first screening process. This was very important because we
4 keep talking about this 30 foot drop onto an unyielding
5 surface, and the 30 minute fire, and so forth. That's what
6 is put in the regulations as the hypothetical accident
7 conditions, along with the puncture and emersion, and so
8 forth.

9 We wanted to see how many accidents actually fell
10 within those loading conditions, and we found out about 99
11 per cent of all accidents, real accident, would fall within
12 the regulatory hypothetical accident conditions. I'll show
13 you a little more detail on that and why that is true.

14 But more importantly, we were interested in the 1
15 per cent remaining accidents, or about 1 per cent, and tried
16 to find out or estimate the risks of that one additional per
17 cent of accidents that would occur outside--or could occur
18 outside of the regulatory hypothetical accident conditions,
19 loading conditions. And so what we did was evaluated those
20 risks and the releases, and so forth, and then we compared it
21 with NUREG-0170 risks, because the Commission had already
22 deemed that those risks were acceptable, that they were not
23 significant, especially compared to shipment of other
24 radioactive materials, is was actually only 1 or 2 per cent
25 of the total radiological risk. Then of course we then put

1 out the report.

2 We looked at a variety of loading conditions when
3 we did the study, and tried to find out which ones we thought
4 were the more important ones and put most of the emphasis
5 into those areas. And so we looked at impact type loads,
6 punch loads, crush loads, and then in the thermal area, we
7 looked at fire, torch and decay heat, and we looked at all
8 the various types of loading parameters that were involved
9 with those types of loadings, and we came to the conclusion
10 that the most damaging, potentially damaging ones would be
11 ones where a cask would actually be impacting onto hard rigid
12 surfaces, like sides of a mountain or abutments, and big
13 strong objects, because and you'll see, if they're smaller
14 objects, the cask just kind of pushes them away and it
15 doesn't even know that they're there. That was one important
16 parameter.

17 And then of course big long engulfing fires like
18 the Caldecott tunnel or other fires which can last for long
19 periods of time, like in train wrecks. There was one fire we
20 looked at that lasted actually eleven days. As most people
21 know, when there's a train wreck, usually they just let them
22 burn. They don't try to put them out because it's too
23 dangerous.

24 For doing the impact analysis, we looked at the
25 velocity of the cask as it hit the object surface, and I'll

1 point out that we did use flat surfaces when we did this
2 study. Later on, we did look at surfaces that were
3 irregular, and I'll talk about that afterwards. We looked at
4 the orientation of the cask and also the direction of the
5 cask when it hit the surface. So we looked at all the
6 different angles the cask could be at and the velocity as it
7 impacted the surface. That was for a flat surface.

8 We also looked at for being hit by, say, a rail, a
9 train sill or like a column, so that the impact limiters
10 would be bypassed and the impact could occur somewhere near
11 the middle, or anywhere along the cask, and so we looked at
12 how that would damage the cask. And we looked at it hitting
13 either directly or around the surface of the cask or where it
14 just barely misses. So we looked at a variety of impact
15 angles and velocities.

16 We defined our accident scenarios. These were
17 based on national statistics, and also statistics that we
18 gathered from California, Florida and also North Carolina,
19 and also--yeah, North Carolina. I think we looked a little
20 bit at also Colorado. At this time, there wasn't that much
21 data available, but of course these databases are always
22 being updated. But basically, these were the way things were
23 looked at as things that could be crashed into.

24 This is for the truck, and obviously they're nice
25 soft objects like cones, animals, pedestrians, and when it

1 comes to a cask, of course, those things wouldn't do any
2 damage to a cask, or even motorcycles, automobiles, trucks,
3 buses. A train can do some damages, so we put an asterisk
4 after that and said trains can potentially exceed the
5 hypothetical accident conditions spelled out in the
6 regulations. Others were just signs and that kind of stuff.

7 And then we got into bridge railing where you have
8 to get off the road and hit a bridge railing, and then you
9 can fall off the bridge, and obviously if you hit things like
10 hard rock, or even soft rock, and so forth, all of these were
11 potentially damaging to the cask, depending on the speed of
12 impact against these different objects, like water or road
13 bed, and so forth.

14 And then it goes into a column, we looked at small
15 through large, and abutment, and we looked at all of them,
16 even though it was pretty clear that the smaller ones could
17 not withstand an impact for a cask.

18 And then finally we looked at crashing into
19 concrete barriers like you see on the side of the road, and
20 signs and cushions and that kind of stuff, and those are
21 things that basically would fail when a cash would run into
22 it.

23 We did a similar type assessment for--oh, these are
24 non-collision, this is pretty important, too. Those were
25 just the collision ones. This got split up a little

1 differently than what's in the study. That's why I got a
2 little bit confused. The truck could also go off the road
3 and hit into slopes or over embankments, over cliffs, and
4 that sort of thing, into trees, just overturn, jackknife, and
5 so forth, and also just fire can occur to it.

6 So we looked at all the different types of
7 accidents a truck can get into, and said that the cask could
8 also experience that environment.

9 We did a similar type thing for the train
10 accidents. Again, the ones with asterisks are the ones that
11 could potentially damage the cask, or exceed the regulatory
12 hypothetical accident conditions, a very similar type of
13 thing, but we're looking at derailments, rollovers, and so
14 forth, for the train.

15 The cask we looked at that we actually evaluated,
16 this is a representative truck cask that was designed up
17 where we thought it could meet the regulations, but just like
18 kind of barely squeak through because obviously you wanted
19 the weaker candidate--the weakest candidate to look at. And
20 basically it had an inch and a quarter of steel on the
21 outside, half inch on the outside of lead filled in here,
22 also had large heavy closures on each end. Notice that it's
23 recessed, but this is typically what you would expect. The
24 cask with its contents weighed 39,000 pounds. And I want to
25 point out that these casks are built to the highest

1 requirement, built to the ASME code, Section 3, Subsection
2 MB. There's a new one coming out, NUPAC requirements, which
3 I think will probably later on be accepted by the NRC. But
4 the cask studies that we did were ASME, Section 3, Subsection
5 MB.

6 And what this means is that you're welding
7 essentially two reactor, nuclear reactor requirements,
8 containment requirements. They're the highest requirements.
9 They have a safety factor of three, so actually when these
10 casks meet all the requirements, they respond in an elastic
11 manner. And so there's a lot of energy that can be absorbed
12 in a plastic mode and still not have it fail. In fact, when
13 we did the study, we could not predict failure of cask under
14 any condition, and I think that's important, and I'll talk
15 about that a little bit more in detail.

16 So for the regulatory response, basically this cask
17 did not even get a dent in it as far as containment is
18 concerned. There may be superficial damage, but there is no
19 damage to the containment system or to the basket inside
20 that's holding the spent fuel. There could be a little bit
21 of lead sluff that occurs for an end-on type collision for
22 regulatory conditions.

23 Rail cask is quite a bit more massive. It's about
24 200,000 pounds, this particular one, and note that it has two
25 and a half inch thick steel on the outside. Of course this

1 is a much bigger cask, and that thickness does provide
2 protection against any type of a puncture by a train sill, or
3 a coupler, as I'll show a little bit later.

4 Now, when we did our evaluation, we could actually
5 look at a cask being exposed to different G forces and see
6 what the loading conditions are, but they can vary
7 significantly with what the cask runs into or impacts, and
8 what we chose to do is express this in terms of maximum
9 effective strain the cask can see. And the reason why is
10 that two-tenths of a per cent strain, this is basically where
11 the cask will be in elastic mode, and this is where the
12 regulatory condition is, is at this response level, S1, that
13 if it does not reach that level for impacting onto that
14 surface, then it will be within the regulatory hypothetical
15 impact condition. And you can kind of see that here that we
16 show for an unyielding surface at 30 miles per hour, the
17 response level is .2 per cent, or .002. And you can see that
18 what happens when you look at medium surfaces like soft rock
19 or concrete, it goes out much more, out to about 60 miles an
20 hour, and then for very soft conditions, or soft conditions
21 like soil, and so forth, we're talking about 90, and very
22 soft, it won't even be able to cause any kind of elastic
23 response that's of any significance. These are kind of
24 results type numbers. These are fairly real and realistic
25 that were calculated.

1 We did a similar type thing for--I should point out
2 that this was for endwise. We did the same thing for
3 sidewise, too.

4 Then for the fire, we selected a temperature at the
5 lead mid thickness in order to determine the level of damage
6 to the cask due to thermal loads. Actually, it turns out
7 that thermally, usually the seals fail, but we were also
8 interested, since this was a lead cask, on the temperature of
9 the lead and when it would melt, and so forth, because that
10 was a more serious condition than the failing of seals. But
11 the seal failure is correlated to these temperatures, as
12 shown here as the lead mid thickness temperature.

13 And then we showed the fire duration basically as
14 an engulfing fire. So as you can see, as you get further and
15 further away, the temperature is much lower, and a fully
16 engulfing fire, the temperature can go up much faster than
17 say a five hour period of time.

18 And then what we did is we looked at the damage
19 done to the cask for both mechanical and thermal loads, and
20 defined a matrix. And in this lower corner, basically this
21 is the corner that the regulations cover, right over here,
22 and that covers about 99 per cent of the accidents fall into
23 that region, that the conditions that casks will see will be
24 less than two-tenths a per cent strain, and less than 500
25 degree temperature on the mid line temperature, and much

1 lower on the seals.

2 So from this viewpoint, we could then start
3 assessing what happens if it goes to 2 per cent strain on the
4 cask, where it starts to distort, it starts bending, and then
5 we could also look up to 30 per cent where we say, gee, this
6 thing is really getting distorted quite a bit, plus we might
7 start getting concerned about weld maybe cracking. As it
8 turns out, these casks were basically made out of materials
9 like stainless steel, 304 stainless steel. In fact, that's
10 what all of them are at this point in time basically. And
11 the ASME code requires a minimum elongation, uniform
12 elongation of 40 per cent, so you can see where it's quite
13 conservative. We said after 30 per cent, we'd stop guessing,
14 because the welds and so forth are--or calculating, not
15 guess, estimating, calculating, that we'd say we're getting
16 into a region of uncertainty, and that's this outer region
17 here.

18 And the same thing for temperature, as we
19 calculated on up, or estimated once we got beyond 1050, we
20 said now it's very uncertain what's out here, and it's kind
21 of like residual uncertainty in the study, so we did not say
22 that we could bound everything definitely, because there is
23 uncertainty involved in all these studies.

24 Now, when we estimated damage to the cask, we
25 looked at both the structural or mechanical damage and the

1 thermal damage, and we evaluated all the accident scenarios,
2 the significant ones that were shown by the asterisks, for
3 all of those different loading conditions where impact
4 velocities up to 150 miles per hour, a lot of people say,
5 well, that's way too high, but we didn't want to get into
6 arguments, many say 120 should be it, but we looked up to 150
7 miles an hour impact into concrete, soils, unyielding
8 surfaces and water. And then we looked at the inner strain,
9 the strain on the inner wall versus the impact velocity. We
10 also calculated "g" loads, and this was important for trying
11 to determine when the spent fuel could actually fail. And
12 I'll get into that, what damage was done to the cask or to
13 the fuel inside. And then we also estimated probability of
14 occurrence for exceeding those strain levels, and that will
15 be presented.

16 The same sort of thing we did for the thermal
17 damage; we looked at all the different fire scenarios, where
18 it could be an engulfing fire or away from a fire. We looked
19 at a variety of conditions there, and we used the lead mid
20 thickness temperature versus engulfing fire duration, so this
21 was very severe. This is totally emersed, so we expressed it
22 that way in order to get all the information into one chart.

23 And then we also looked at combined damage, where
24 you have both structural and thermal damage occurring to the
25 cask, and we looked at the joint probability of occurrence

1 also.

2 These are the fraction of truck accidents that
3 could result in responses within each response region,
4 assuming that an accident occurs. As I pointed out, we had
5 at least 99 per cent for the truck, was .994, that's a
6 fraction, or 99.4, and the train was 99.3 per cent of the
7 accidents fall within the regulatory conditions. And then we
8 can see as we go to higher strains and deformation, the
9 number drops off. And in fact once you get beyond 30 per
10 cent, you can see one out of a million chance given that an
11 accident occurs would fall outside.

12 And looking at that same sort of thing, the
13 temperatures here, decreases as it goes to higher and higher
14 temperatures, the probability drops off, although since this
15 is a little bit smaller interval here, it actually increased
16 a little bit for this region, but that's because of the size
17 of the bin that we chose here. And by the time we get out to
18 temperatures beyond 1000 degrees, we're talking about
19 something like one chance in 100,000 given that an accident
20 has occurred.

21 Now, associated with each one of those regions is a
22 source term, and that had to be estimated. And the way that
23 we looked at it is first of all, we were primarily concerned
24 about the radioactive material due to the failure of the rods
25 inside of the cask. And so what we did is we calculated the

1 failure of rods related to "g" level and temperature in order
2 to determine how many rods failed, and basically we said that
3 3 per cent of the rods when they're loaded in the cask might
4 be failed, might be leakers, have small cracks or pin holes
5 in them and could perhaps leak some material out. Even
6 though that's unlikely, it was a bounding conservative
7 estimate. Right now, leakers are running much less than 1
8 per cent, more like a tenth of a per cent, because obviously
9 they don't want rods leaking inside of reactors when they're
10 operating, but there were some bad years where they did get
11 leakers up to about 1 per cent.

12 And then we get up to, say, a 90 "g" level--I mean,
13 40 "g" level, we were estimating that 10 per cent of the rods
14 could fail. It's hard to estimate because we don't know the
15 condition of these rods, and so it's a very rough estimate
16 based on virgin material, unexposed, and so forth. And then
17 finally at 90 "g," we just say everything failed, all the
18 rods failed, that we did not know their condition. And I
19 think that this is a conservative estimate. It's something
20 that might be looked at more if we start looking at fuel
21 claddings, and so forth, but it's very hard because we do not
22 know what the actual condition of the fuel cladding is.

23 The release from the fuel rod cavity was estimated
24 from Oak Ridge test data give than a pin hole has occurred
25 either through mechanical rupture or temperature type of

1 rupture, thermal type rupture, a certain percentage of
2 material will leak out of the rod and into the cavity. And
3 we were able to then relate this to the inner wall strain and
4 mid thickness temperature because, as I told you, we
5 calculated in terms of "g" level, and we related the
6 temperature of the fuel rods to the temperature of the lead
7 mid thickness temperature. So we were able to put them in
8 the proper box, is the main thing, or proper bin or region.

9 And then release from the cask cavity related to
10 damage in terms of the inner wall strain, distortion, and so
11 forth, as I said here, that we then could put them into the
12 appropriate boxes.

13 For radiation levels due to lead slump, again we
14 calculated that, what it would be due to impact and related
15 to the inner wall strain, and we also looked at lead melting
16 due to the fire and related that to the mid lead temperature.
17 And then we--the resultant radiation level was expressed in
18 terms of equivalent release to compare with NUREG-0170. That
19 is, we said instead of just saying this is the radiation from
20 the cask, the radiation from the cask is equivalent to this
21 amount of material being released. That's the way it was
22 done in NUREG-0170, although that is not exactly right, but
23 it is a bounding way.

24 And then as for criticality, the conclusion was
25 just physically unreasonable because as this closes up, the

1 configuration will be lost and it would not be able to
2 moderate to bring about criticality. Also, we assumed there
3 was no burnup credit.

4 These are the radiological hazards that are
5 radiological hazards estimated for the response regions for
6 the representative truck casks. We looked at Noble gas
7 releases, vapors, release like cesium and ruthenium. We
8 looked at particle release, primarily plutonium, and then
9 exposure was for the lead slump. And so we looked at all
10 these hazards that could occur due to these type of releases.
11 Again, the actual fuel rod releases were estimated from the
12 Oak Ridge data for the given temperature conditions, and we
13 did assume that the fuel oxidized, so we looked at the worst
14 condition for the release.

15 And you can see here for the regulatory conditions,
16 there's essentially zero release because of some elastic
17 response by the cask.

18 It should be pointed out that for this condition,
19 this is what is put into the safety analysis report, and the
20 NRC reviews that and indeed confirms that essentially there's
21 no release from the cask for their fire conditions for the
22 impact conditions that are specified in the hypothetical
23 accident conditions.

24 Then we calculated the probability hazard
25 estimates. Again, this is for the truck cask. This

1 basically takes the probability times the hazard, and this
2 way we can estimate the potential hazard in terms of
3 probability. And then what we did is we basically summed
4 this all up and compared it with NUREG-0170, and it's summed
5 up probability hazard estimate.

6 Then when we compared it, we found that for our
7 study, we were at least a factor of three less than that that
8 was stated in NUREG-0170. I should point out human factors
9 and uncertainties were not explicitly evaluated, although we
10 did not do any truncations, and as I said, we did have that
11 outer region, which took care of those low probability
12 accidents, and assumed that the cask meets all regulatory
13 requirements, including certification, proper maintenance,
14 proper operation, that it's fully certified and properly
15 evaluated, went through the SARR review process, built to the
16 ASME code, has the correct margins of safety, and so forth.
17 And of course the study concluded that the regulations are
18 adequate.

19 I want to talk about some of the additional
20 calculations that were used after the Modal study. There
21 were questions on cask side drop onto an uneven surface,
22 coupler impact on a rail cask wall, and then what about
23 closure impact of rail cask on an unyielding surface, or what
24 can you get the closure to fail, what does it take to make it
25 fail.

1 What we did now is a nice 3-D model, nice colors,
2 contents in cask, everything. We can do anything now,
3 believe me, with upgraded hardware--or software. Basically,
4 our engineers have equivalent to like a Cray 2 computer at
5 his command on his desk top basically, and so we can do these
6 nice things in a lot more detail. But it's interesting we
7 went back and looked at some of the previous calculations we
8 did because of a lot of questions, and it turns out that
9 essentially none of the answers changed even though we could
10 do it much more accurately, a lot faster, and so forth, it
11 really didn't change the results.

12 But basically here's a cask hitting onto an uneven
13 surface basically here where we have a piece of concrete
14 protruding out. This could be like an outcrop of rock
15 simulated, and we dropped the cask onto it, and we found that
16 as might be expected, the damage to the cask, or the
17 deformation to the cask, was about midway between hitting a
18 flat surface and getting hit by a train sill. And so this
19 was actually bounded by the train sill simulation for this
20 particular incident. So the question would be then, well,
21 maybe we should include a certain percentage of the hits onto
22 surfaces as being of this configuration and, yes, that could
23 be done, but I doubt if it would change the total result of
24 the study, but certainly will not breach the cask. There's
25 no question about that.

1 We then looked at a coupler hitting a train--a
2 train coupler hitting the cask. We didn't show this
3 explicitly in the study. We said the coupler would fail. We
4 went back and did the detailed study and, indeed, it turns
5 out that the coupler has about an 18 inch square section here
6 that has to try to shear into the cask wall, and it takes 8
7 million pounds of force to shear this, and the coupler fails
8 at 4 million pounds. And so it's gone basically.

9 And by the way, the coupler, the drop onto a six
10 inch spike, it actually took more--the damage due to the 40
11 inch drop on the six inch spike was actually a little bit
12 higher than due to the coupler, so that's a good hypothetical
13 accident condition on the six inch pin, that it actually
14 caused more force, that's like we said, a lot more force on
15 an unyielding surface, the same sort of thing that you see.

16 This is where we brought the cask down and hit it
17 on the corner, and you'll notice that it has to be within a
18 certain angle here. It has to be within about 15 or 20
19 degrees, I've forgotten what it was, it has to hit right on
20 the corner. You have to try to pop all these bolts, and of
21 course we assumed that none of this deforms--of course if it
22 deforms and starts getting distorted, it's going to really
23 jam even more so. But what happens is you have to shear the
24 lip of this thing because of the small clearances here, and
25 also this tends to jam over against the side here, and what

1 it takes is about 100 million pounds of force onto an
2 unyielding surface. There aren't too many things out there
3 that won't yield under 100 million pounds of force. And
4 that's equivalent to hitting an unyielding surface at over 80
5 miles an hour.

6 As for changes, I want to talk a little bit about
7 benchmark and the DYNA. At that time, we talked about DYNA
8 and it's use in the weapons program. It was extensively
9 benchmarked at the time we did the study, but unfortunately,
10 it was with weapons type applications, and so we couldn't
11 talk about it. That was one problem. The other problem was
12 that a lot of people said, well, that doesn't relate to cask.
13 How does it relate to cask?

14 Since then, we've had some benchmarking going on,
15 and we've kept up with that, and in fact we were involved in
16 the shippingport transport. We performed the stress and
17 failure analysis of the shippingport reactor pressure vessel
18 and the Neutron Shield tank. The pressure vessel is shown
19 here and the tank is out here, and the inside of the pressure
20 vessel was filled up with grout and the outside of the--
21 between the pressure vessel and the shield tank was also
22 filled up with grout to hold things in place. And of course
23 we couldn't go out and drop this thousand ton assembly, so we
24 had to simulate its drop, and what we did is we went out and
25 ran a one-tenth scale test that essentially mocked up the

1 important features of the pressure vessel and the Neutron
2 Shield, and we dropped it on the ends and sides and so forth,
3 and this is the one where we dropped it on the end and you
4 can see there's about a 10 inch diameter flattened spot here
5 occurred on the test specimen.

6 And then this was the calculated result, and you
7 can see again it's about a 10 inch diameter, or 5 inch radius
8 is what was predicted. Now, this was not matched up. A lot
9 of people say, oh, you just fiddled with the parameters until
10 it matches up. This concrete was modelled using laboratory
11 test data and doing the appropriate measurements and blindly
12 putting it in, and then went out and did the test, and we
13 were right on as far as deformation was concerned. The "g"
14 levels were within about 10, 15 per cent agreement.

15 We also went out and did some tests on a potential
16 plutonium air package. We were also doing this work for the
17 NRC when we're looking at the potential of having air
18 transport from France or England to Japan. And so what we
19 did was determine what the requirements would be on the
20 package, and one of them was to survive going about 1000 feet
21 per second into a concrete block or into soft rock, and one
22 of the questions was, well, can we come up with an equivalent
23 against an unyielding surface, because there's always
24 problems with trying to come up with a real surface and
25 duplicating it. There's a lot of engineering problems in

1 making sure that you have equivalent yielding surfaces or
2 real surface, where the unyielding surface is well defined.

3 So we did some tests against unyielding and
4 yielding surfaces. Both are grout block, and this is the
5 one-sixth scale model of a plutonium package. We put grout
6 in here to use for providing energy absorption, and then
7 inside we had the simulated plutonium package, and we used an
8 1100 series aluminum ball to measure the "g" level by the
9 indentation on that little ball. And then we went and shot
10 this out of a six inch Howitzer onto an unyielding surface,
11 and you can see this was the original configuration, and it
12 flattened out when it hit the unyielding surface, and you can
13 see the superimposed computer simulation grid here, very good
14 agreement. And, again, we got, with the same grout model, by
15 the same, same grout numbers, no changes, we got within about
16 the 15 per cent, 20 per cent of the "g" loads, as measured by
17 that little aluminum ball.

18 By the way, the 1000 feet per second into the
19 essentially concrete block blew the block apart,
20 unfortunately, but it did survive it without ripping through.
21 This is a test of the toughness of stainless steel. It's
22 very, very tough material, very tenacious. And by the way,
23 that's what we use for our spent fuel casks. Essentially,
24 most of them are made out of that, and the future ones I see
25 coming up will probably be made of that. We do not propose

1 using nodular cast iron or anything like that.

2 And then finally, we did a finite model of steel
3 billets tipping over onto a concrete pad and soil. This was
4 for the storage, spent fuel storage, and see how it inter-
5 reacts. And here again, we saw very good agreement between
6 the tests data and then the actual calculated data, again,
7 same concrete model was used for this. And so we have gained
8 a lot of confidence in that modelling, and we think that it
9 would be more than adequate for any studies that would be
10 done in the future, and it also tended to support the
11 previous work that we've done in the original Modal study.

12 Questions?

13 BULLEN: Bullen, Board. Just a quick question on a
14 definition. You talked about the maximum effect of strain as
15 you impacted these containers. Is that a total dimensional
16 change of the length, or do you look at strain in each finite
17 element?

18 FISCHER: The strain in each finite element. It's very
19 conservative because it gets down to element size.

20 BULLEN: Okay. And I guess the followup question is you
21 talked about the calculation being conservative on your
22 absolute last slide here where you talked about measured
23 versus calculated, but it looks like your calculations are
24 slightly under in the "g" calculations, even though they're
25 within 20 per cent. Would you want to remodify your model to

1 try and say that you'd better predict or over predict?

2 FISCHER: I wanted to say that this was done with the
3 original model. Okay?

4 BULLEN: Right.

5 FISCHER: I understand your comment, and so sure enough,
6 our people went back and looked at, and sure enough, the
7 concrete was a little bit stronger, and so forth, and it has
8 not been adjusted upwards, but this was the original data,
9 the original model. But taking other things into effect,
10 yes, they came back up and over in most cases, yeah.

11 CRAIG: Paul Craig, Board. First of all, I want to
12 thank you for a really good visit down at Livermore. You
13 gave me reading that kept me going for days.

14 FISCHER: Yeah. Well, you're welcome.

15 CRAIG: Anyway, what I wanted to ask you about is
16 defects, because defects are emerging as a major problem.
17 We've heard about that this morning. Have you done any
18 analyses in which you look at the consequences of particular
19 types of defects and what this might do to the behavior in
20 accidents?

21 FISCHER; I can talk about my experience. The kind of
22 problems that Charlie Haughney was talking about have to do
23 with storage cask, and they are not built to ASME code,
24 Section 3, Subsection MB, and that's all I need to say.
25 There's a world of difference between storage casks and

1 transport casks, and that's why they're looking at dual
2 storage and transport casks. Not all storage casks would
3 ever be put on the road, believe me.

4 CRAIG: Yeah, I understand.

5 FISCHER: There's a tremendous difference.

6 CRAIG: No, I understand that. The point at issue is
7 that if there are quality control problems for the transport
8 casks, and the experience with other manufacturing in the
9 nuclear industry apparently suggests that there might be
10 unless people get their act together, the question is will
11 failures in quality control of the sort that might be
12 expected lead to significant degradation of the performance
13 in the event of accidents? And that's the kind of question
14 that one could resolve, could get some insight into with the
15 kind of modelling that you're doing.

16 FISCHER: Yes, I think that can be done. But my gut
17 feeling is that if you're working with stainless steel, it's
18 very forgiving for flaws and defects, that it will tend to
19 turn a localized problem and just smear it out and it won't
20 tear in a catastrophic manner. But certainly it could be
21 something that could be looked at with the computer
22 modelling, but there's a lot of plasticity that occurs with
23 the 304 stainless versus the other types of materials that
24 they're using for storage. And in fact, the primary problems
25 were with the carbon steel. It's just a different animal,

1 different type of cask and situation, yes.

2 ARENDT: Are there other questions?

3 FISCHER: Is that permitted, people from the audience,
4 or just Board? I think the audience is later.

5 Anyone else?

6 (No response.)

7 FISCHER: Okay, thank you.

8 ARENDT: That finishes this morning, and we'll adjourn
9 for lunch, and why don't we be back at 1 o'clock.

10 (Whereupon, the lunch break was taken.)

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1

2

3

4

AFTERNOON SESSION

5 ARENDT: Good afternoon. The first thing I'd like to do
6 is to introduce Dan Metlay to you. Dan is on staff, but he
7 wasn't here earlier when I introduced staff.

8 I'd also like to make a couple other comments I
9 failed to make earlier, and one is that the Board has had
10 significant changes in membership this year. And since 1989,
11 the Board has held about a dozen meetings on transportation
12 and related issues, and this is really the first substantial
13 meeting on transportation for most of the members that are
14 here.

15 The other comment I'd like to reiterate again is
16 that the focus of this meeting is safety of transportation of
17 spent fuel, and we are treating this subject on a broad
18 sense. We're not concentrating on any specific program, but
19 on safety as it applies generally to spent fuel
20 transportation.

21 This is one of the reasons that we did not have DOE
22 on the program on today's agenda. They have briefed us
23 previously on the DOE's market-driven approach to acquiring
24 transportation services, and we will be looking forward to
25 additional updates as they're warranted.

1 Earlier, you may recall that we started talking
2 about emergency preparedness and routing, and a few things
3 like that, and I just want to say again that we did not
4 intend today to get into those areas in detail. I think the
5 NRC and DOT did a good job in indicating where these
6 activities lie, and at some future date, we will again be
7 taking all of those up when there's a little more to say
8 about that.

9 The first speaker this afternoon is Dr. Chen from
10 Argonne National Laboratory. Dr. Chen is Strategic Area
11 Manager for Risk Assessment. I can't read your writing,
12 Woody. We'll let Dr. Chen explain, but there's a word here
13 that looks like it's management. I'm sorry. He's at Argonne
14 National Laboratory in the Environmental Assessment Division.

15 Dr. Chen?

16 CHEN: Thank you very much. Actually, it's risk
17 assessment and management. I'm glad to be here and
18 appreciate the invitation from the Board.

19 This morning, we heard the regulators talk about
20 their regulations. We heard about the analyses of casks in
21 terms of safety, and actually the one I'm going to present is
22 kind of a quick overview of how those practices are
23 implemented, and a rather quick summary of the Department of
24 Energy's Environmental-Statement-Related Risk Studies.

25 I actually will give a quick introduction, and also

1 the risk assessment process, followed by review of commonly
2 used analytical methods, and provide some typical examples
3 and also conclusions.

4 We all know that the NEPA, National Environmental
5 Policy Act, was promulgated in 1969 during the Nixon
6 administration. So it's over 20 years that the DOE has gone
7 through the process, and basically all this compliance has
8 shown up in the Environmental Assessment and Environmental
9 Impact Statements, and I'll focus on these two particular
10 documents. Certainly there are other NEPA documents, like
11 Finding of No Significant Impact, the FONSI, and also the
12 lower one being the categorical exclusions, which I'm not
13 focusing on. But keep in mind that they're also part of NEPA
14 documents.

15 In that kind of vein, the NEPA evaluates impacts of
16 federal actions. What's important is that there are going to
17 be alternatives scoped out, and the risks will be analyzed
18 according to the alternatives, so in the very end, there will
19 be records of decisions which will be reached, and the risk
20 impact is certainly one of the important points there to be
21 fed into the decision activities.

22 DOE/NEPA activities mainly focus on spent nuclear
23 fuel and radioactive waste materials, and certainly there are
24 others, but these are the major activities here. And in the
25 past, transportation risk has been singled out as one of the

1 important risk components, and in this decision process,
2 transportation has been weighed against other conditions,
3 such as risk, all facility risks, all costs in those kind of
4 terms there.

5 And to show you the magnitude of DOE's inventory of
6 this material here, we first have the spent nuclear fuel,
7 both on the DOE side of spent nuclear fuel, and the
8 commercial side. We know that the DOE side of the fuel in
9 terms of inventory really pales the commercial side of total
10 inventory here, and much of the activity on spent nuclear
11 fuel actually is circling around shipping these materials
12 across the country, and perhaps to the storage, and also
13 eventually to the repository. And, thirdly, we have two
14 major programmatic EISs that have been done. One is the INEL
15 programmatic spent nuclear fuel of the DOE fuel itself, and
16 also the foreign research fuel reactors. Both have been
17 completed up to this point. Certainly there are EISs, such
18 as the Naval reactor shipment systems EIS that recently was
19 completed.

20 But the other major component is the commercial
21 side of the fuel, which we know that under the Nuclear Waste
22 Policy Act, the date is next year, and I'm not sure how it's
23 going to be done, but currently the ongoing repository EIS
24 has been conducted up to the MRS, we don't know yet whether
25 the Congress will make a decision or not. It's up in the

1 air. What I did not mention here is also the high-level
2 waste of the DOE side will also eventually go to the
3 repository.

4 The other component, major component, perhaps a
5 bigger one, on transportation and waste management
6 operations, and this one, we know that recently, just early
7 this year, that WM, Waste Management Programmatic EIS was
8 completed, and this is kind of a quick summary of the order
9 of magnitude of the inventory. We have low-level waste,
10 high-level waste, low-level mixed waste, transuranic waste,
11 true waste, and certainly these are hazardous wastes, which
12 were a lesser extent here.

13 We can see with this that large amounts of waste
14 are going to be transported. The quick estimate is that the
15 total mileage of shipment is probably approaching one billion
16 miles, total shipment over 20 years. That's the kind of
17 magnitude we're talking about, and this has been documented
18 recently in the Waste Management Programmatic EIS.

19 One thing I wanted to bring to light is that
20 certainly, as you see, the volume is large. What's not
21 included is environmental restoration activities, or site
22 cleanup. Much of that could be soil, and the magnitude or
23 the volume is probably ten times any of these in order of
24 magnitude.

25 Speaking about the transportation risk, we know

1 starting in a very quick way, waste of spent nuclear fuel
2 started from here. Either that will come into the storage or
3 treatment, and then eventually to the disposal here, usually
4 has to engage some sort of shipment of the material or waste.
5 So whether you transport through the facility there, then
6 you have a facility risk, health risk, environmental impact
7 when you want to construct the particular facility for
8 storage of waste. And then you have a complex wide shipment
9 across to the disposal site, or from the facility to the
10 disposal. All this activity has to be connected by some sort
11 of transportation campaign, so all the transportation impacts
12 will incur as you conduct all these activities.

13 Basically, you can say, well, what will be the
14 basis for this transportation risk assessment. Basically, we
15 are talking about a DOE guidance, the NEPA "Green Book,"
16 which stipulates that in transportation links, risks should
17 be analyzed in those links. The other thing is that, well,
18 don't just cite the regulation and say we'll meet the
19 regulation. Full-blown analyses will need to be performed.
20 Also, in that case when you do the analyses, both routine
21 when no incident has occurred, as opposed to when an accident
22 happens, both should be analyzed. And some of this I've
23 already mentioned about RADTRAN, and certainly I don't want
24 to get into RADTRAN. I think that Sandia will present
25 RADTRAN later.

1 In a short summary, you know, what kind of risk do
2 we expect from transportation, basically we define risk as
3 frequency times the consequence. Frequency could involve the
4 probability of occurrence. It will be a proportion of the
5 total mileage shipped to what kind of transportation mode,
6 and also how severe the accident might be, and those are the
7 kinds of considerations, consequence being what the severity
8 in terms of the risk end point is going to be. So these two
9 terms form the basis for the risk estimate, and the end point
10 we're talking about here is mainly the human health impact in
11 terms of cancer risk.

12 Again, we talk about a routine and accident
13 conditions. In the routine conditions, since it's going to
14 happen, so frequency is always the one here; exposure to
15 exhaust, which is non-radiological, exposure to ionizing
16 radiation, which is radiological. Similarly, in the accident
17 conditions, we talked about this morning the Modal study.
18 When an accident happens, it does not usually or most likely
19 not lead to release, most of the time it will not; only for
20 the rare occasions when you go beyond the design basis
21 accident, some sort of release might happen. So risk also
22 includes physical trauma from accidents. That means that the
23 truck will run people over, some people will die from
24 injuries. That's a risk. And, thirdly, the frequency from
25 the accident is always a statistic and usually very rare.

1 Risk also depends on transport mode, material, package,
2 route characteristics, as I mentioned earlier.

3 In terms of analyses of risk, basically DOE's
4 analyses also evolve with time. It didn't happen just one
5 time, overnight. I know that since the promulgation of NEPA,
6 there's also in the earlier AEC times, there were also some
7 documents being prepared. But the most significant one that
8 we heard this morning is NRC's NUREG-0170, EIS on the
9 Transportation of Radioactive Material by Air and Other
10 Modes, published in 1977. And then the later part of the
11 approach has been improved in particular to the spent nuclear
12 fuel. We heard this morning about the Modal Study, a more
13 detailed analysis that tries to characterize the accident
14 modes there. And also they improved the statistics and
15 parameters. For example, the accident statistics over time
16 have been improved.

17 I know that some of the, especially the Waste
18 Management EIS, has been used at state level, an excellent
19 statistic, as opposed to earlier times, the nationwide level.
20 So gradually, this parameter also gets improved, and also
21 it's driven by the legal precedents. There are some legal
22 actions taken upon the different groups, you know, ways of
23 forcing DOE to take more activities. So there's also the
24 legal precedents, and in particular related to spent nuclear
25 fuel.

1 This approach in analyses has evolved in response
2 to stakeholder concerns. There will be increasing route-
3 specificity there, the push to do that, also scenario-
4 specific analysis, all talk about the RISKIND code that
5 Argonne developed for RW, in large part, responding to the
6 stakeholders' call for consequence only type of analyses.

7 Also, there are emerging issues to include
8 environmental justice that try to capture the cumulative
9 impact in these NEPA documents.

10 I'll not try to talk too much about the Modal
11 study. I think Larry Fischer has articulated it very well.
12 But in the NEPA analyses, there's a quick glimpse of how to
13 make sense out of these Modal studies response regions, and I
14 don't want you to hold this number hard and fast, because all
15 this is subject to uncertainties. We tried to make sense of
16 that, so these are some sort of examples that we tried to
17 utilize, some of the formulas, you know, written in the
18 particular document and tried to, in the NEPA analyses, see
19 if we can have a better interpretation for the stakeholders,
20 and this is one we tried to interpret. But, again, I will
21 caution you not to hold this number hard and fast. It's a
22 quick way to try to summarize or interpret how each region
23 might be interpreted. So that's kind of a quick glimpse of
24 each region, or some of the typical representative scenarios
25 might look like.

1 Basically, there are four models that are commonly
2 used, in particular in the last five years to ten years. We
3 talk about RADTRAN here, and certainly I don't delve into
4 that. Again, Sandia will follow me and is going to talk
5 about RADTRAN in more depth.

6 RISKIND, on the other hand, has been designed, as I
7 mentioned, in response to the stakeholders' concerns in the
8 past. There's a question about the risk probability masking
9 the consequence, type of argument there, so in RISKIND we
10 take the particular scenario and just do the consequence to
11 see what's going to happen to the community in scenario-
12 specific type of analyses, and show to the stakeholder if you
13 take the probability away, what's going to be the consequence
14 alone. That has been very useful in communicating with the
15 stakeholders.

16 RADTRAN was developed by Sandia; RISKIND by
17 Argonne. We have two other codes, HIGHWAY and INTERLINE
18 developed by Oak Creek National Lab. HIGHWAY has been doing
19 the highway routing model, and INTERLINE being used for rail
20 routing models.

21 This one just kind of summarizes what the risk
22 analysis has been, and I basically factor those four models
23 into this particular figure here. Basically, when you do the
24 analysis, you're going to do both routine and then accidents,
25 but before you do that, you need to find out the routing,

1 linking, the origin, destination. You have to characterize
2 the waste material itself. And in that, you branch into the
3 risk probability times consequence, or you blow up some of
4 the maximally exposed individuals, just look at the
5 consequence alone. That happens the same way on the
6 accidents. That's related to a radiological impact. In the
7 vehicle-related risk that we talk about, accidents, the
8 trauma alone, and also some of the emission from the exhaust
9 here, so all this captures the risk and also is some
10 complementing consequence presentation here.

11 The following two, actually you can read through
12 that, but I don't want to go into that. This is a summary of
13 very recent EISs, just to support my statement earlier, how
14 they did the analyses in this past EIS, some of them spent
15 nuclear fuel. But if you look at the type of NEPA documents
16 here, what they are focusing on, what is the transportation
17 mode, what kind of model they use for routing, the risk model
18 they use, what kind of input they analyzed, so you can pretty
19 much see that basically it's generally a consistent approach
20 that's been developed. The same with the next slide, about a
21 couple thousand of them, you know. There are actually more.
22 Hundreds we review, but these are just kind of typical and
23 show the past few EISs.

24 In giving you pretty much a quick summary of what
25 the risks look like, in these two figures, we kind of took

1 the spent nuclear fuel, high-level waste as an example here.
2 On this, we have the radiological related dose. Dose, I use
3 a surrogate of risk because they have a more direct relation.
4 Over here are all the kinds of different EISs here. The
5 first figure here shows the rail shipments. The second one
6 shows the truck shipments. And as you can see, in this
7 particular dose here, we kind of normalize by the so-called
8 transport index. We don't want to have that influence it.
9 So if you take that away, most of the people, you can see
10 that the trucks would have a higher per unit risk here
11 compared to rail, because the rail usually goes faster, it
12 runs through a lot of remote areas, whereas, the truck would
13 go through a lot more populated areas, and generally the
14 speed is slower. So mostly what you can see here is a fairly
15 consistent result in the recent EISs that you can observe,
16 really not a drastic departure among all these different
17 documents and analyses.

18 And I would add, coming back to the earlier slide
19 here, there was one question earlier this morning about the
20 statistics, some people ask, well, what happened to the total
21 mileage here, and I want to talk about the statistics here.
22 What we use, basically the rule of thumb here for the truck,
23 our estimate--actually the compilation of DOT data over the
24 five years has been almost one accident case in about 10
25 million miles, in that order of magnitude. Rail is probably

1 in the order of five times ten to the minus eight, you know,
2 that means five in about 100 million miles, that kind of
3 accident statistic. So in terms of order of magnitude, it's
4 been done that way.

5 And if you talk about how exactly you verify that,
6 it's kind of hard because the carriers don't usually give you
7 that information. And if they do, they'll tell you there's
8 no accidents. But if you talk about statistics, one in 10
9 million miles is a lot of mileage to log. So some of the
10 carriers may not even reach that kind of distance, so even
11 though they don't have any accident happen, does not
12 necessarily mean that they are as safe as they claim to be.

13 And to just give you a feeling of what risk would
14 look like, basically for the truck, we can say that
15 transportation risk is basically proportional risk for the
16 shipment mileage, and the more mileage you have, the more
17 risk you involve. And accidents, physical trauma is actually
18 dominate non-radiological risk. You can see the orange part
19 represents truck and rail here. Radiological risk is
20 dominated by routine exposure, and most likely in stops, and
21 also radiological accident risk tends to be low due to low
22 frequency of accidents involving releases. And that confirms
23 NRC's and also Larry Fischer's analyses this morning that
24 when you certify the cask, actually most of the accidents
25 that happen are actually within the design basis accidents.

1 So in order to get to the release, you have to go beyond the
2 design basis accident, which is extremely rare.

3 In conclusion, I would like to say that by looking
4 at DOE's NEPA analyses, transportation risk assessment has
5 become increasingly comprehensive. That means evolving over
6 time, and we can see that some of the analyses, like Modal
7 study, are also evolving. A consistent approach has been
8 applied in recent DOE transportation assessments, many using
9 pretty much the same model here, and conducting the analyses.

10 And also, I wanted to point out also that
11 environmental justice and cumulative impacts are also being
12 addressed in past EISs. One important thing to bring up is
13 that despite all the improvements here, actually observation
14 is that the risk numbers really do not change a whole lot,
15 but one aspect is that those improvements are extremely
16 variable in making the NEPA process more transparent. I
17 think it's a very important point here, because much of that
18 is in response to stakeholder concerns, and that improves the
19 communication, for example, the Modal study makes it easier
20 for interpreting the risk and characterizing the accident
21 analyses. And there's also an emerging trend there, trying
22 to use the GIS to offer up recent information and make the
23 communication better. And I'll conclude my presentation here
24 at this time.

25 ARENDR: Thank you. Are there questions? Debra?

1 KNOPMAN: Knopman, Board.

2 On your flow chart of the risk assessment approach,
3 and also in your conclusions, you talk about
4 comprehensiveness. To what extent can you--or can you tell
5 us a little bit about sensitivity of the assessment to a
6 couple of key parameters or issues? And we've heard that the
7 most important issue here really is not mode, but packaging,
8 and packaging comes up in the waste characteristics. What I
9 wonder is do you need all this--what do you add in terms of
10 your understanding of risk assessment once you get beyond
11 packaging? I mean, do you really get any kind of
12 differentiation there from introducing other variables?

13 CHEN: Well, I will leave the sensitivity to Sieglinde
14 to talk about RADTRAN sensitivity capability. But to address
15 your question up front here, if you're talking about routine
16 exposure, basically it's external dose strengths. That's
17 what dictates what the risk is. That means if you allow more
18 leakage of radiation, which is certainly within the
19 regulatory limits there, then you have more risk there in the
20 routine operation.

21 The other point I want to point out, most of the
22 routine operations here, the biggest dose comes at a stop.
23 Every time you stop for inspection, people get very close to
24 that and, therefore, you can potentially expose people, and
25 we know radiation's one over r squared rule, the closer you

1 get, the more exposure you have. So that's one of the
2 reasons that the stop dose has a high radiation level.

3 On the other hand, for accident analyses, as I
4 mentioned, there's no leakage there, no risk. So from the
5 accident point of view, release fraction becomes extremely
6 important. That's the reason why the presentation this
7 morning by Lawrence Livermore focused so much on the design
8 basis accident, because that's where the release is going to
9 happen potentially. So that's where the sensitivity is.

10 So when you get the accident analysis, you really
11 have to know how much has been released and what probability
12 and what response regime that particular release may occur.
13 And that's the focus of the data collection here, and that's
14 the reason why NRC spends so much time and energy in
15 characterizing the release conditions.

16 ARENDR: Dan?

17 BULLEN: Bullen, Board.

18 In your comparison of risk results for the two
19 transportation modes, rail and truck, do you want to go to
20 that bar graph, if you would, which is a couple past where
21 you were? If you normalized it over the population, you
22 mentioned that there's a low population exposure for the rail
23 and a high population exposure for the truck, do those
24 numbers get closer together? I mean, this looks like a
25 little bit of a skewed, and what I'm looking at is the dose

1 to the maximally exposed individual, which is what I'm trying
2 to find.

3 CHEN: That part may not be that much of a departure
4 there, depending on the scenario. If you focus on this, say
5 for example, I mentioned the RISKIND thing, but if you take
6 the probability away and focus on the scenario-specific, then
7 that will be heavily dependent upon what scenario you have.

8 Say, for example, you have inspectors who check the
9 trucks and rails, in that case, the distance is about the
10 same, the timing is about the same, then those should be
11 comparable.

12 ARENDT: Woody?

13 CHU: This is Woody Chu of the Staff.

14 I'd like to follow up on that question, please.
15 The number of shipments will be higher for the truck
16 shipments; right? Does that answer, in part, as to why the
17 truck numbers are higher, because you have many more
18 shipments, when the same amount of material is carried by
19 truck?

20 CHEN: Is the same material carried by the trucks?
21 Fred, can you answer that question?

22 MONETTE: Yeah. In these two bar graphs, I believe the
23 biggest driver, and the difference between the truck and the
24 rail, are very conservative assumptions in terms of the truck
25 stop model, in terms of how often a truck stops and how many

1 people are exposed at each stop. If you reduce the
2 conservatism in that part of the model, those numbers will be
3 much closer together, because the rail doesn't stop as
4 frequently, and there's not as many members of the public
5 exposed each time the train stops.

6 CHU: My question was of a somewhat different sort. In
7 other words, if you take, let's say, the fuel associated, or
8 the material associated with Yucca Mountain, as an example,
9 you have so many thousands of metric tons to move, so under
10 truck shipments, you would need so many numbers, and under
11 rail, you have so many numbers. Is part of the reason why
12 the truck numbers are higher because there will be more
13 shipments by truck; is that part of the drive?

14 MONETTE: That's a true statement, but that's not what
15 is reflected on these graphs, because these are simply
16 normalized per mile.

17 CHU: Oh, normalized.

18 ARENDT: Okay, thank you very much.

19 CHEN: Thank you.

20 ARENDT: Our next speaker is Dr. Sieglinde Neuhauser
21 from Sandia National Laboratories, and Dr. Neuhauser will be
22 joined by Doug Ammerman.

23 NEUHAUSER: Thank you for the opportunity to address the
24 Board today. This quickly is the group doing risk assessment
25 at Sandia. Doug is with a sister organization that does

1 package testing, and we work very closely together. This is
2 simply the risk group.

3 As you've heard a couple of times already today,
4 RADTRAN and NUREG-0170 are co-evil. RADTRAN 1 was basically
5 developed in order to do the analysis in NUREG-0170, and it
6 was later, a few years later, decided to generalize it.
7 Originally, the first version of the code literally could
8 only do the standard shipment model in NUREG-0170. RADTRAN
9 II was changed simply to allow the same calculations to be
10 done on any user entered data, and it was also the basis for
11 the IAEA code INTERTRAN, which was an internationalized
12 version of RADTRAN.

13 RADTRAN III represented some model updates, and
14 just like S.Y. said, we continually try and update our models
15 and our codes to take account of new data, new computational
16 techniques, and so on.

17 RADTRAN 4 included our first cut at being able to
18 do more route-specific analysis, and RADTRAN 5, which is just
19 out this year, extends that attempt to allow the user to do
20 highly route-specific analysis, and it removes essentially
21 all embedded values that were in previous versions of the
22 code.

23 RADTRAN 5 allows you to look at radioactive
24 material transport by all commercial modes, any type of
25 material, although we certainly do a lot of spent nuclear

1 fuel analyses. As I mentioned before, it contains no
2 embedded data, and like any risk assessment code, as a matter
3 of fact, in order to do risks, you must calculate
4 consequences and probabilities, and those are also part of
5 what's put into RADTRAN and part of what comes out of
6 RADTRAN.

7 The flow chart shows you how all the models fit
8 together. I think it's attached at the back of the packet
9 because we didn't reduce it. But in addition to incident-
10 free population doses, we call them doses instead of dose
11 risks because like Dr. Chen pointed out, the probability of
12 occurrence of those doses, given that the transportation
13 occurs at all, is essentially one. The dose risks are
14 usually the subject of most interest. Quite a few different
15 kinds of individual doses, and I put in here specifically
16 that consequences are printed in the output and probabilities
17 are printed in the output, along with risk, so that you can
18 separate out those contributions to risk and do CCDFs,
19 complementary cumulative dose functions, and so on. It's all
20 available in the output.

21 On the incident-free dose calculations, the code
22 uses very simple basic point source and line source models.
23 The line source models are only invoked on large packages for
24 people who are close, if you become for occupational reasons
25 close to the package. We do integrations over uniform

1 population densities, distributions within each route
2 segment. However, the user can pretty much define how small
3 those group segments become, and of course we look at stops
4 separately.

5 The kinds of subgroups we look at, we use the
6 shorthand terms off-link and on-link. That means people
7 adjacent to the road, members of the general public living
8 beside the road. On-link is people sharing a transportation
9 link, people in other vehicles and so on, crew members,
10 escorts, persons at stops, handlers, inspectors and storage,
11 and I don't mean storage like on-site storage of spent fuel
12 at a reactor, I mean interim storage.

13 For example, a kind of interim storage that
14 occurred was during the Taiwan research reactor spent fuel
15 transport program, because of an MOU between the states of
16 Virginia and North Carolina, only three spent fuel casks at a
17 time in any 24 hour period were permitted to go pass through
18 North Carolina, and they were going to Savannah River. They
19 arrived at Hampton Road. Therefore, when six or more casks--
20 when more than three casks came in, the remainder had to be
21 held at least 24 hours and shipped the next day, and they
22 were held in a warehouse at the port. That's the kind of
23 interim storage I'm talking about.

24 And of course we look at individual doses,
25 including maximum in transit individual, and a number of

1 other individual crew member doses, and so on, can be
2 calculated, but the user has to know what they're doing. You
3 have to select your input values. They're not automatically
4 output for you.

5 In dose-risk calculations for accidents, we look at
6 six different dispersion related exposure pathways, and the
7 loss of shielding type of accident where, for example, Larry
8 Fischer this morning mentioned lead slump. If you had a
9 thinning in your shield, there would be a partial loss of
10 shielding. That's the kind of thing you could analyze in
11 that module of the code.

12 Some changes that we've made in this version that
13 are different from older versions, give you more flexibility,
14 is that the clean-up and interdiction levels are now
15 independent. The interdiction levels used to simply be a
16 multiple of the clean-up level and you couldn't change it.

17 We've added a new ingestion model, replaced the old
18 ingestion model with the COMIDA2 code, which is also used in
19 the MAX code, which is the Melfor (phonetic) Accident
20 Consequences Calculation System, which is used by NRC for
21 reactor safety, and we try and stay somewhat parallel to them
22 wherever we can so that on-site risks and then transportation
23 risks can be more or less reading off the same sheet of
24 music.

25 All of these risks are calculated separately for

1 each route segment. These are all user definable. You can
2 do up to 60 individual route segments per run of the code.
3 You can run the code many times if you want to do more than
4 that. They don't have to be sequential route segments. They
5 can be the same route segment, different times of the day,
6 for example, that kind of thing. It's very flexible that
7 way.

8 We do include a library of radionuclide data, plus
9 a DEFINE function that allows you to redefine those
10 radionuclide-related values in case you choose to. And
11 there's some inherent conservatism there. For example, in
12 the inhalation dose conversion factors, we use an average
13 AMAD particle size of .3 microns, and this may sound extreme,
14 but that way, that average diameter gives you 100 per cent of
15 the population below 10 microns, which is the respirable
16 diameter. That is extremely conservative, extremely
17 unrealistic, but very few measurements have been made of
18 actual particle diameter distributions. And where good data
19 are absent, we tend to get very conservative. But if you do
20 happen to have particle diameter distributions for your
21 problem, you can use the DEFINE function to alter that.

22 This is in partial response to your question about
23 what's most important. We have done quite a bit of
24 sensitivity analysis and uncertainty analysis over the years
25 and package response. The uncertainty in extra-regulatory

1 package response tends to dominate the accident risk, not
2 necessarily because it would if we knew what it was; it's
3 just that there's been very little extra-regulatory testing.
4 So we have to assign it a high uncertainty when we do these
5 analyses.

6 Of course accident probability, as well as package
7 response data, are all obtained from event trees of the type
8 that you saw Larry Fischer showed you this morning, and these
9 are almost essential to doing a risk analysis. There are
10 other ways, but this is the best way, and event tree
11 development is one of your first steps in a new area if
12 you're analyzing a risk for nuclide transportation.

13 You can use, as far as dispersion parameters go,
14 you can use pre-calculated values for an average, a
15 conservative average cloud, which means a small diameter
16 initial cloud, ground level dispersion, these always give you
17 fairly high downwind values as compared to something that
18 goes higher in the atmosphere or has thermal loft or
19 whatever.

20 However, if you don't care to use those, you can
21 define your own output from any dispersion code, so you can
22 always do your own. In addition to population doses, we also
23 calculate individual downwind doses at each isopleth
24 distance, and this is essentially incorporating into RADTRAN
25 a code that we had separately before called TICLD, which

1 stood for Transportation Individual Centerline Dose, and so
2 now you can get the individual doses associated with your
3 population doses downwind at all distances, and you can even
4 independently define the population densities in each
5 downwind isopleth, although you can't do that separately for
6 each route segment. That's a restriction. It's intended to
7 be used more for a case specific purpose.

8 Other features; the economic model that was
9 previously in RADTRAN 4 has been replaced by a new model,
10 based on a report by Dave Shannon, Walt Merson (phonetic),
11 sponsored by DP program at DOE DP, and it's now a separate
12 code and it's available, the documentation for it is
13 available, like all the code documentation for all of our
14 codes, at our Web site, and if you need to get a password to
15 actually get onto the--to use the code itself and not just
16 look at the documentation on the Internet, contact Fran
17 Kanipe. That number was already given this morning by Jim
18 McClure. She's our web master and our assistant manager for
19 TRANSNET. And TRANSNET is simply an Internet accessible and
20 modem accessible system of codes with a user friendly GUI,
21 graphic user interface, for RADTRAN. It's available at no
22 charge, thanks to our DOE sponsors, and is intended to
23 provide all interested members of the public with access to
24 state of the art tools like RADTRAN 5.

25 Before I get to the last bullet here, I should also

1 mention a couple of additional features that aren't on here.
2 We do calculate--we do account for residence time in the
3 off-link population based on 1990 census data. That
4 addresses how long people reside at the same spot, and the
5 average time of residence in a single location in the United
6 States is only three and a half years. For a 20 year program
7 or 40 year program like the Yucca Mountain repository is
8 projected to be, that means that a lot more people will
9 actually be living in the off-link band width than just the
10 resident population at any one point in time. And we
11 automatically calculate that. There's an algorithm in the
12 code that calculates the total exposed population on that
13 basis.

14 And then there are also non-radiological impacts
15 like fatalities and pollution are also calculated based on
16 the route data you put in. You don't need to put any extra
17 information in. It just simply calculates for free, print it
18 in the output, and it's based on a simple, common editorial
19 code that just puts fatalities for kilometer traveled.

20 We also have a software QA plan. We follow ASME
21 software guidelines. We have--our code verification
22 methodology is written, followed, was recently published in a
23 peer review journal, RADTRAN journal, and we also had
24 independent validation by SAIC for RADTRAN 4, still very
25 applicable because many of the models are the same, although

1 we do need to repeat that for RADTRAN 5.

2 In addition to RADTRAN itself, we use a Latin
3 Hypercube Sampling code developed at Sandia as a shell around
4 RADTRAN. This code was developed with the intention of being
5 able to be used as a shell around other risk codes. It was
6 developed in the Reactor Safety Group, and Ron Eiman
7 (phonetic) and John Hilton are sort of the fathers of Latin
8 Hypercube Sampling, world recognized experts in probabilistic
9 analysis, and they did this work at Sandia, and we're using
10 this shell.

11 This is a modified Monte Carlo. You sample from
12 distributions rather than using fixed point estimates. It's
13 the same exact technique that's been used in repository
14 performance assessments, like the recent WIPP performance
15 assessment, the Waste Isolation Pilot Plan for the EPA. It
16 allows you to do not only fully probabilistic risk analysis,
17 but sensitivity analysis and uncertainty analysis.

18 To summarize up to now, the RADTRAN code is a
19 highly flexible, very powerful tool, capable of performing
20 high accuracy and high resolution risk and consequence
21 assessments. And as realism increases, your conservatism
22 necessarily decreases. There's good things and bad things
23 about this. One of the good things about it is that the
24 central risk estimate typically goes down quite a bit. The
25 bad thing about it is you must make sure that your event

1 trees are right. You can't leave things out of your event
2 tree. You have to really have those down. And the accuracy
3 of course depends, if anything, more than ever on the quality
4 of the input data. We don't predigest anything for people
5 any more. We do have additional databases that you can take
6 data out of if you don't have any of your own, but we don't
7 have anything embedded in the codes.

8 So the question of input data, just like Dr. Chen
9 said, keeps becoming central. And we have some current
10 initiatives in that direction to obtain distributions for LHS
11 applications and simply to gather data of the higher quality
12 necessary for modern risk analysis. These include we
13 obtained a site license to the last 15 years of Lloyd's of
14 London data. This is the individual written out accident
15 descriptions. It's really painful to plow through, but it's
16 useful. And of course event tree construction, I've hit that
17 hard enough. The DOE has sponsored a SeaRAM program, which
18 is to look at radioactive material transported by sea, and
19 the purpose of this was to improve the analysis of the
20 Maritime mode, of course, and the NRC is currently sponsoring
21 a revalidation of NUREG-0170, which we are redoing the event
22 trees on for that.

23 Of course, GIS, like Dr. Chen also--believe it or
24 not, we did not talk about this ahead of time. GIS based
25 systems are simply the way to look at route data, and we have

1 recently acquired a site license to an ArcView compatible
2 census block database, and that's a census block, not block
3 group. These are the little tiny blocks of 50 people,
4 approximately, per block. And we also obtained two very
5 detailed databases developed for 911 emergency response
6 purposes by local entities for two separate locations in the
7 U. S. to do some reality checks with.

8 We have used data elicitation methods. This isn't
9 a full-blown formal data elicitation because we did it by
10 phone instead of talking to them in person, but in every
11 other way, it was a data elicitation. These were first
12 responders. They were contacted regarding questions such as
13 evacuation time, response time, decision time. And we do
14 time and motion studies. We've been to and filed and
15 recorded and measured and stop watched and everything else
16 vehicle inspections, vehicle stops, intermodal transfers. We
17 have a little bit of film on some of this that I'll show you
18 at the very end and a couple of still shots we'll get around
19 to in a minute, and then the whole subject of how packages
20 respond to various types of accident insults, which is Doug
21 Ammerman's area, he's the structural guru, and Joe Koski is
22 his counterpart in thermal. All of these initiatives are
23 intended to produce data for use in our risk analyses.

24 And before I go on to the very last part, let me
25 show you a couple of--this is a distribution. I don't think

1 that's in your slides. This is the result of the data
2 elicitation that I described with first responders. These
3 were first responders to actual Hazmat accidents in the past,
4 I believe it was the past ten years, who actually evacuated
5 real people, and we asked them how long did it take. And we
6 could not believe how close this approximated lognormals as
7 shown as a cumulative lognormal distribution.

8 We had been using--like I say, we need to get more
9 realistic. We had been using 24 hours as a default value for
10 evacuation. Well, the mean, or actually the mode, as it's
11 called for lognormal distribution here is in the vicinity of
12 less than two hours. This is preliminary data. We have to
13 add on things like how long does it take to get there and how
14 long does it take to make the decision to evacuate. This is
15 simply a piece of an initiative. This is what data we
16 already have, so I thought you would be interested in that.

17 The next slide shows even at the census block
18 level, this shows what kind of problems you can run into.
19 This is a very rural area of New Mexico. The blank in the
20 middle is a city, Gallop, New Mexico. We're looking at the
21 rural areas. Those are census blocks. The little squares
22 are an 800 meter--1600 meter total band width, one kilometer
23 pieces of the route. It's a custom made cursor for our
24 system. We marked it down the route. And that shows you how
25 much bigger rural census blocks are compared to our cursor to

1 the area that we're normally interested in for incident-free
2 analysis. And the question of course becomes how do you
3 distribute population out of this huge census block into
4 these relatively small pieces of that census block, and
5 that's an area where we've been doing some work.

6 The next slide, this is a 911 database. These are
7 actual houses for the same area, McKinley County, New Mexico
8 for emergency response, and what's interesting is that you
9 can see where some of the roads are even though the roads
10 aren't on there. There is clustering, especially along
11 secondary roads, although it's much--little or no clustering
12 along the interstates, a very interesting result from the
13 point of view of state alternative routes.

14 Does anybody need to have this--those are roads.
15 Those are houses along roads. You can really see where the
16 roads are.

17 This is an example of--this is some time and motion
18 studies we did. This is in a section of a rehearsal of a
19 waste isolation pilot plan shipment at the inspection at the
20 state border. We sat there and watched this whole thing. We
21 were absolutely appalled to find out it takes 45 minutes,
22 that at least one poor soul is next to every single one of
23 these shipments for 45 minutes within one meter. This is
24 anti-ALARA, and there's no demonstrable safety increase to
25 justify this. We think this is a real problem for future

1 looks, although we certainly don't have any control over the
2 regulations.

3 And let me go on to the next slide, and I'm going
4 to ask Doug to take over pretty quick here, because these are
5 package response questions and I think--Doug, would you like
6 to--

7 AMMERMAN: As Sieglinde said early, a major driver in
8 the accident risk, and that's why I also brought is out, is
9 what is the release fraction. In order to get the release
10 fractions, we have to look at package response to these
11 individual events.

12 For the risk assessment that we're doing for safety
13 of shipped transport, we're looking at both structural
14 response and thermal response. The structural responses show
15 a little clip in the video that shows what happens to a
16 radioactive material package when it's on board a ship that's
17 struck by another ship. You can see in the top picture just
18 before the collision occurs. The middle picture is part-way
19 into the collision, and the bottom picture, what happens to
20 the package, and you can see that it's being pushed out the
21 back side of the ship. That's a very typical response; a
22 package is stronger than a ship, at least bulkily, and so
23 instead of the package failing, the ship fails.

24 We also look at, for terrestrial transportation,
25 what happens in extra-regulatory events. We tested a

1 minimally designed test unit, in other words, it had low
2 margin of safety against the regulations. In a 30 foot drop,
3 the regulatory impact, the stresses in the test unit were at
4 the regulatory limits. We subjected this to increasingly
5 severe impacts. This picture here shows the result after a
6 60 mile per hour impact onto an unyielding target. You can
7 see that there's significant plastic deformation at the
8 bottom of the package there near the impact point. The
9 impact member is completely crushed up, is gone material
10 solid, but this package is still leak-tight.

11 We also have looked at fires aboard ships. This
12 shows what could happen if you had a radioactive material
13 package in the same hold as, not flammable material, because
14 the IMO regulations prohibit transportation of radioactive
15 material and flammable material in the same hold, but you may
16 have combustible material, for example, wood pallets or other
17 wood material, and that's what this is showing. We had a
18 wood crib, which is a standard test unit, if you will, for
19 looking at fire extinguishing capabilities, so the heat
20 supplied by that wood crib is very well characterized when
21 it's constructed to this specification.

22 We had a calorimeter that simulates a radioactive
23 material package immediately adjacent to the location of this
24 crib fire, and we're measuring what is the heat input to this
25 calorimeter during this test, and it was found that it's less

1 than the regulatory fire, as you would probably expect, since
2 it's not totally engulfing. We also used that test to
3 benchmark analysis of that same event, and you can see in
4 this picture the wood crib at about the same location as it
5 was in the photo, and the calorimeter at the same location,
6 and that the heat rises--essentially, most of the heat from
7 that fire goes up, as you would expect, and convection is
8 making--you can see the convective arrows on that slide
9 showing how the heat is transferred over to the sides of that
10 hold, and the calorimeter is actually in a region of
11 relatively low temperature.

12 This is another comparison of the calculated result
13 versus experimental. The heat flux that we typically see in
14 engulfing fuel fire is about 100 kilowatts per meter squared.
15 The regulatory 30 minute fire, how it's specified in the
16 regulations, is really a heat flux specification, and I
17 believe that's about 60 kilowatts per meter squared, is what
18 that specification turns out to be.

19 NEUHAUSER: Just to wind up, one last subject here, we
20 also get asked to do special analyses like contents response
21 analysis for--VHLW is the example I used. This is in
22 response to some rather inflammatory and unfortunately highly
23 erroneous statements made in a report put out by Nuclear
24 Control Institute. I have copies of our response, enough at
25 least for the Board, and a few extra which I will give you

1 when this is over. And that concludes our presentation.

2 Ready for questions?

3 ARENDT: Questions?

4 NEUHAUSER: Oh, wait a minute. Oh, that doesn't
5 conclude; I forgot our videotape.

6 (Whereupon, a videotape was shown, and the
7 following is the explanation of the video by Sieglinde
8 Neuhauser.)

9 NEUHAUSER: This is a spent fuel cask in the hold of a
10 ship being put--a spreader crane is being put into place by
11 the support workers. This was a ship very much like the one
12 that the tests we did were conducted on, the Coast Guard
13 facility in Mobile.

14 And one of the first things they did, for example,
15 is inspect the crane cables an hour before this was started.
16 The Port Authority is very, very thorough about these
17 things. This was Newport News.

18 We had hours and hours of this kind of tape. I
19 just picked out one little piece of it to show you. I was
20 sitting there with a stop watch through most of this. We
21 measured all kinds of parameters. We did not have an expert
22 camera man. Very professional way this was run by the Port
23 Authority. This is coming down, as you'll see, it's on a,
24 when it gets down here, a waiting chassis, low boy trailer.
25 And the tie-down here, the port workers are coming over and

1 guiding them on.

2 Okay, this is the animation of the finite element
3 analysis. This is the packaging, set of packages together
4 treated as a rigid body. You can see it's punching into the
5 back of the ship, and like Doug said, this ship is failing,
6 the package is not. There's a lot of this. We just took a
7 small clip to show. And this is the--see how it bulged out?
8 That's the minimum test unit, a larger, closer shot, but did
9 not fail 60 miles per hour, unyielding surface. And I think
10 that's it.

11 Okay, now questions.

12 BULLEN: Just a couple of quick questions. You
13 mentioned in your route survey, you picked the average time
14 span that somebody lived along the route is three and a half
15 years?

16 NEUHAUSER: Right. Well, no, we don't; that was just
17 another piece of data that came out of this Census Bureau--

18 BULLEN: Okay. So you leave them there for 40 years
19 while this is all going by?

20 NEUHAUSER: No, we move them at a national--at a rate of
21 replacement. There's an algorithm for how many people move
22 and how often they--how long they lived there.

23 BULLEN: Is this also based on the economics? Because
24 usually the people that are living near the railroad tracks
25 don't have quite as good of economics as--

1 NEUHAUSER: No, actually the Census Bureau didn't find a
2 particular relationship between economics. They did find a
3 relationship between region of the country, and you could
4 regionalize this if you wanted to.

5 BULLEN: Okay. I guess the last question I had was you
6 said that you had user input parameters, but if you're
7 looking at the plume exposure, you had sort of set parameters
8 you could also use. Are these like regional, you know, kind
9 of--

10 NEUHAUSER: Yes, based on national average weather and a
11 small diameter ground level plume.

12 BULLEN: Okay. So these are--

13 NEUHAUSER: It's a fall-back if you have nothing else.

14 BULLEN: But it's national averages. Do you have
15 seasonal data and like daily data and all this?

16 NEUHAUSER: No, no, it's national average as far as the
17 frequencies of occurrence to the six pascal dispersion
18 categories; that's what I meant.

19 BULLEN: Okay, thank you.

20 KNOPMAN: Knopman, Board. This is a risk assessment
21 tool. What have you learned from it that would bear on risk
22 management?

23 NEUHAUSER: Very good question. It doesn't work the way
24 we're looking at route analysis, because even with the
25 minimal test unit, it's becoming apparent that only an impact

1 with a really hard object is really going to do anything for
2 you, even potentially release material. So the incidence of
3 hard objects along a route are starting to become extremely
4 important, and that's one of the things we will be looking at
5 very closely in the next year, trying to hopefully GIS map
6 that and get a better picture of the route on that. And
7 that's not a view we had before.

8 KNOPMAN: Any other things like that?

9 NEUHAUSER: No, other than that in general what
10 everybody's been saying today, it's very hard to fail these
11 packages, and we're just zeroing in on the one thing we have
12 found so far that might do it.

13 ARENDT: Any other questions? Staff?

14 (No response.)

15 NEUHAUSER: Thank you.

16 ARENDT: Thank you very much.

17 Our next speaker is Dr. Marvin Resnikoff. Dr.
18 Resnikoff is with Radioactive Waste Management Associates.

19 RESNIKOFF: Thank you for inviting me, Mr. Chairman.
20 I'm usually brought on at this hour of the day to liven
21 things up. I know you're all a little tired, so I hope I do
22 my job right.

23 I've worked on transportation issues for a long
24 time, since 1975 when I first started working for the New
25 York State Attorney General, when he was concerned about

1 transportation of plutonium out of Kennedy Airport, since the
2 casks were designed to withstand a 30 foot drop, and most
3 planes out of Kennedy fly higher than 30 feet, he brought the
4 issue to court and that was my first encounter with the NRC
5 and I've since been working on transportation. And I'm now
6 working for the State of Utah, I should mention, on this
7 proposed storage facility at Skull Valley.

8 The public is very concerned about transportation
9 because there are many more people on transportation routes
10 obviously than at reactors or at the proposed repository.
11 This is a cartoon that I clipped out of a newspaper in
12 Hudspeth County. I'm going to read it to you if you can't
13 read it. I'm pretty sure you can't read it. But one person
14 is saying, "The public is worried about our plan to haul
15 nuclear waste to far away dumps along routes running down
16 major highways and passing through hundreds and hundreds of
17 cities and towns. How can we calm them down?" And it shows
18 all these various trucks, a Piece Brothers Toy Company trust
19 us with your children, Moo Milk. This I clipped out of last
20 week's newspaper. I just wanted to do that to show you that
21 the public has some concern about transportation issues.

22 I want to emphasize four points today, and they are
23 there's a need to coordinate what is happening at DOE
24 repository, the DOE repository requirements, with what is
25 happening in the private sector in radioactive waste

1 management. There's a need for training and equipping local
2 personnel along transportation routes. There's a need for a
3 new environmental impact statement on transportation. I want
4 to talk about that at some length. The last one was produced
5 in 1977 by the Nuclear Regulatory Commission. There is a
6 need for additional physical testing of transportation casks,
7 that's transportation and storage casks. This is a whole new
8 generation of casks that will require testing. Those are the
9 four points that I want to emphasize.

10 As has been pointed out by other speakers, the
11 number of shipments that have taken place in the past is
12 nothing compared to the number that will take place in the
13 future. I think it was mentioned that approximately 80
14 shipments per year have taken place since 1979, and
15 approximately 2,000 shipments will take place when a
16 repository or a dry storage facility, an MRS facility or an
17 independent storage facility privately licensed. Most of the
18 reactors are in the East, I don't know if I have to show this
19 to you, and this material will be transported to Utah or--to
20 Utah, then Nevada or directly to Nevada.

21 These are the reasons why I believe a new EIS on
22 transportation is required by the NRC. I don't know what
23 happened to cask burial. It seems to be degrading. Several
24 years ago, I suggested to the NRC that the commission do a
25 new EIS on transportation, that the previous EIS was

1 inadequate, and I said that some state is going to eventually
2 take the NRC to court on this issue. And then I said this
3 again in Atlanta where Charlie Haughney was on the program
4 this past spring, and Charlie Haughney says, "Stop beating us
5 with this. We're going to do it. You know, you don't have
6 to talk about it any more." Well, I felt great.

7 But then I talked to Charlie in August and he
8 backed off a little bit when I talked to him personally. He
9 said the NRC was considering doing an EIS now, that I should
10 send them a letter saying why an EIS is required. This is a
11 crucial time, he said. So now it's not certain any more that
12 the NRC is doing an EIS, so I want to underline the issue,
13 and I want to suggest to the Board that it recommend to
14 Congress that the NRC do an EIS in transportation, that
15 Congress fund the NRC to do this EIS.

16 These are my reasons for it. When NUREG-170 was
17 initially written, it was premised on the fact that there
18 would be reprocessing. Fuel would sit in reactor pools and
19 then it would be transported to a reprocessing facility. It
20 wasn't premised on the fact that fuel is going to sit in dry
21 storage for years and then be shipped on the highway or rail.
22 This makes a big difference, as I want to explain to you.

23 The storage systems that are presently in use, not
24 the ones that are being proposed now, that's another issue,
25 are primarily the NUHOMS and the VSC-24 containers. TN-40

1 has, you know, been suggested at Point Beach. Now, these
2 containers are built in the following way. This is a NUHOMS
3 container. Essentially, the cask is--the canister of fuel is
4 sitting horizontal within a concrete box. This is what I
5 call the mausoleum concept, or the stone hinge concept is the
6 VSC-24 which stands upright on the platform.

7 Now, the two of these have a similar
8 characteristic, in that you have a storage canister which is
9 welded shut with helium inside, sitting within a large amount
10 of concrete, almost three feet of concrete. The effect of
11 that concrete is to insulate the canister inside. Even
12 though there are air ducts, the temperatures can get very
13 hot.

14 This is an overhead which shows some of the
15 temperatures. You see that for the maximum cladding
16 temperature, temperatures can be almost 700 degrees
17 Fahrenheit inside the container. In fact, I compared these
18 temperatures to the maximum cladding temperature while a
19 reactor operates, and those are comparable. In other words,
20 in dry storage containers, the temperature, the maximum
21 cladding temperature is comparable to while the reactor
22 operates. These are classified as very benign systems, but
23 the temperatures are in fact very hot. These are the
24 temperatures in the reactor and the temperatures in dry
25 storage. The cladding temperatures in the reactor; cladding

1 temperatures in dry storage.

2 What is the meaning of that? Well, first of all,
3 as I tried to say, the impact hasn't been anticipated in
4 NUREG-170, and the possibilities are for cladding
5 degradation. Extended storage at high temperature increases
6 the likelihood of corrosion cracking, creep corrosion, and
7 increases the likelihood that in an accident, there will be
8 rupture of the cladding.

9 The next point I want to make is the location of
10 severe accidents was never correctly stated when NUREG-170
11 came out. There never really was an analysis. It was
12 engineering judgment. The judgment was severe accidents take
13 place in rural areas, are more likely to take place in rural
14 areas, and less likely in urban areas.

15 On behalf of the State of Nevada, I looked into 40
16 real accidents which have taken place, not nuclear accidents,
17 but 40 that could be easily analyzed, that had been already
18 analyzed by the National Transportation Safety Board, and
19 looked at where those accidents actually took place.

20 So in NUREG-170, you probably can't read this, but
21 the accident severity categories are listed in this column,
22 and one is the least severe and eight is the most severe.
23 And you see that in rural areas, the least severe accident is
24 least likely. The more severe accident is most likely in
25 comparison to cities where the reverse is true. And these

1 numbers are essentially made up. There's no basis, no
2 statistical basis for them as it appears in NUREG-170.

3 We looked at real accidents which have taken place,
4 and let me list them. Here are train accidents. We looked
5 at 21 of those. Six of them took place in rural areas, ten
6 in suburban and five in urban areas. We looked at truck
7 accidents, severe truck accidents. Two took place in rural
8 areas, ten in suburban and seven in urban areas. It seems to
9 be the reverse of what the NRC has said. So that's another
10 reason why we believe that a new accident analysis should be
11 done.

12 Most major rail accidents occur near upgrade and
13 downgrade areas. It doesn't correlate with urban or suburban
14 or rural; it's where the upgrades and downgrades occur.
15 Accidents in Helena, Montana or Bakersfield, California are
16 two examples.

17 We are also concerned about fire temperature in
18 impact, and this has been mentioned at great length today.
19 The original analysis that was done by Sandia for NUREG-170
20 assumes that accidents are elastic, they use elasticity
21 theory, which is entirely inappropriate for severe accidents,
22 because a cask smashing into a concrete bridge abutment is
23 not like two billiard balls colliding.

24 We also looked at fire temperature, and we looked
25 at real fires which have occurred in real accidents on the

1 highway and rail, and many of those are not diesel fuel;
2 there are other substances which can burn much hotter. And
3 it's our contention that real materials need to be
4 considered. Real accidents need to be looked at to see what
5 the real fire temperatures are, and to compare those with the
6 regulatory standards.

7 Accident rates were another concern that we had,
8 and I was glad to see that Mr. Fischer has been looking into
9 accident rates, and also Sandia Laboratory is looking into
10 accident rates. The accident database that was used for
11 NUREG-170 is very thin, and a new database should be used in
12 estimating where accidents take place, the likelihood of
13 accidents.

14 Earlier today, there was a listing of the number of
15 accidents which have taken place, breaking those down into
16 Type B, Type A, and strong containers, and I just wanted to
17 say a word about that. We have some concern about that
18 database, and this underlines the points that were raised
19 earlier by one of the panelists, in the fact that the
20 accidents are not looked at in a consistent manner, and I
21 will give you a couple examples of that.

22 There have been Type B accidents which have taken
23 place, which have released their contents. You saw a number
24 zero that appeared on the overhead. That assumes your Type B
25 containers are only spent fuel containers. But as Charlie

1 Haughney mentioned to you, there are other types of Type B
2 containers, namely radiography containers, which they
3 analyzed and some of those have broken open in accidents and
4 released their contents on the highway.

5 In addition, there have been some high level waste
6 transportation accidents which were not included which should
7 have been included, if you want to include them in a
8 consistent way with the way you look at low level waste
9 accidents which have happened, and I'll give one example of
10 that. A shipment of fuel from Haddam Neck reactor to
11 Battelle Columbus took place in 1980, and the fuel rod was
12 too hot for the container. As a result, the uranium oxidized
13 and when the cask was opened and put in the fuel pool, a lot
14 of the fuel just emptied out into the pool.

15 Now, you may not consider that a high level waste
16 accident. Okay? But then let me give you another accident
17 which took place at Barnwell, South Carolina. At Barnwell,
18 they had a Type B cask which they opened up, which was
19 supposed to have been shipped completely dry. When they
20 opened it up, 75 gallons of contaminated liquid came rushing
21 out. They had unfortunately left some water in the cask.
22 That is in the database. So the high level waste accident at
23 Battelle Columbus is not in the data base, but the one at
24 Barnwell is in the database. So there is a point in the fact
25 that these accidents are not looked at consistently.

1 Other kinds of accidents were not included in the
2 Sandia database and should be, namely drops off bridges or--
3 well, let me give some examples of that, a bridge collapse on
4 I-95, Mianus River Bridge collapse, or the Schohari Bridge
5 collapse on the New York State throughway. Those kinds of
6 accidents are not included in the database and should be,
7 because the velocities can be high and there's not any
8 evasive action that a driver can take if you're, you know,
9 flying off into the abyss, as happened in the Mianus
10 accident, where vehicles dropped 80 feet.

11 Another point concerns human error. I wanted to
12 discuss that briefly, and that was also raised today. NUREG-
13 170 assumes a perfect container and an imperfect world, and
14 as Mr. Fischer said when he was asked the question as to
15 whether they actually look at design defects, he said no, no,
16 they don't look at--they assume that the cask is constructed
17 perfectly, and there have been several instances where that
18 has not occurred, where casks have been constructed
19 incorrectly.

20 Let me point out a few of them. The NAC-4
21 transportation cask was not constructed correctly. Four of
22 those out of seven were removed from service after being used
23 for several years. The VSC-24 storage cask at Palisades was
24 incorrectly welded and has still not been removed from
25 service. It's still sitting there.

1 Workers sometimes make mistakes. A cask, the NLI
2 1/2 at Duke Power was supposed to have been filled with air,
3 and instead was completely filled with water, because a
4 worker put the wrong hose on the wrong connect. And as I
5 mentioned, this high heat fuel assembly that was shipped from
6 Haddam Neck was a human error. Human error is not factored
7 into any of these calculations, and it should be.

8 The cask capacity has changed. The newer casks
9 hold much more fuel than is assumed in the old EIS. They can
10 hold up to 24 BWR fuel assemblies. The new casks that are
11 being considered by Holtec International and by Sierra
12 Nuclear, the transportation storage combined use cask, can
13 hold up to 24 fuel assemblies, BWR fuel assemblies. And an
14 accident with this huge inventory of the radiated fuel has
15 not been analyzed for an urban area.

16 These casks will hold more than a critical mass of
17 fuel. If they are BWRs, they will hold more than 17 BWR fuel
18 assemblies; therefore, more than a critical mass. And if the
19 nuclear industry is successful in lobbying for burnup credit,
20 that is another element of human error that is possible, if a
21 worker puts the wrong fuel in the cask.

22 A criticality event where fuel is rearranged, the
23 consequences of that are far outside the envelope of
24 consequences that were assumed in NUREG 170.

25 There's been some discussion earlier of sabotage,

1 and I want to say a few words about that. The NRC arguments
2 about sabotage I don't believe are persuasive. Let me give
3 you a for instance. Imagine the Olympics taking place at
4 Salt Lake City. They are going to take place at Salt Lake
5 City. Imagine rail casks going through downtown Salt Lake
6 City on the way to Squaw Valley. I think that's a highly
7 visible target. It's a type of scenario that needs to be
8 considered.

9 There are many enemies of the United States. There
10 are domestic militant groups. It is within their power to
11 actually successfully attack these containers.

12 There are hand-held anti-tank weapons that can
13 penetrate more than a meter of steel and can shoot the
14 distance of two kilometers with accuracy. So I believe it's
15 an issue that needs to be investigated carefully. A few
16 guards holding, you know, handguns is not going to stop this
17 kind of activity.

18 Finally, the issue of cask burial is important.
19 It's an issue that we looked at in a study we did for
20 Greenpeace concerning what happens if a cask holding
21 vitrified high-level waste lands in the ocean, and there are
22 calculations which show, at least for the TN-40 cask, that
23 the cask could rapidly overheat. In the matter of tens of
24 hours the cask could overheat, and, therefore, a successful
25 salvage operation is needed. And that's not that easy to,

1 you know, successfully move a 125-ton object that's landed in
2 the water.

3 I wanted to bring up some policy issues that have
4 come out of the work for the State of Utah to pose to the
5 panel for you to consider.

6 The first policy issue is whether the casks that
7 are being proposed that Charlie Haughney has mentioned, such
8 as the HI-STORM and TRANSTOR cask, whether they are actually
9 going to be compatible with DOE requirements. This is an
10 important issue. If they're not compatible, then the
11 canisters will have to be open and the fuel is going to have
12 to be transferred.

13 So it's an important consideration if you want to
14 minimize the amount of handling to make sure that these
15 systems are compatible. And the NRC regulations actually
16 require that these casks be compatible, but in the questions
17 that the NRC has asked these cask manufacturers, they have
18 not broached this particular question, to my knowledge, and
19 I've looked over all the questions the NRC has posed to
20 Sierra Nuclear and to Holtec. Obviously, the best is, you
21 know, if these casks are completely compatible and so DOE can
22 use them in their disposal overpack.

23 This may seem like a strange issue, but let me
24 bring this up as well. The definition of storage and storage
25 facility is not clear. You think that storage--you know,

1 what is storage? You put casks out on a pad and they're
2 you're storing it.

3 But let me give you another example. What if you
4 have rail casks that are sitting on a rail siding, say
5 they're sitting on a rail siding for a few days next to
6 Interstate 80? Is that storage, temporary storage, or is
7 that transportation? If there's a building with a crane that
8 lifts casks off rail guards and puts it onto a heavy-haul
9 truck, is that a facility? That requires licensing by the
10 NRC? And does such a facility have to have certain physical
11 protection as it sits next to I-80? These are questions
12 that, you know, the state is considering and that I consider
13 important.

14 There's an issue about private storage facilities
15 versus the MRS, versus the Department of Energy facility.
16 The Nuclear Waste Policy Act provides protection for states.
17 That's built into the Act if it's a federal MRS facility.
18 But these protections are completely bypassed if the facility
19 is private. So there needs to be a consistency, I believe,
20 between these regulations, and there needs to be a
21 consistency in federal law as well.

22 We would question whether the NRC actually has the
23 authority under the federal law to regulate private storage
24 facilities. And don't ask me questions about that until
25 after November 24th because that's when the State files their

1 petition.

2 Those are the primary issues that I wanted to
3 address, and thank you for your attention, and I'll answer
4 any questions you might have.

5 ARENDT: Thank you.

6 Are there any questions? Dan?

7 BULLEN: Bullen, Board.

8 Just a point of clarification on your cask burial
9 scenario. You were dropping it into the river, but you were
10 burying it in the mud? I mean, were you going deep enough?

11 RESNIKOFF: Yeah.

12 BULLEN: So there wasn't water cooled? It was buried in
13 the soil, and that was where the heat transfer problem came?

14 RESNIKOFF: Yes, that's right.

15 BULLEN: And the river was just an impediment to getting
16 it out because you had to do it under water?

17 RESNIKOFF: That's right.

18 ARENDT: Other questions? Staff?

19 Thank you very much.

20 RESNIKOFF: Okay. And I'll write this up for you. I'm
21 sorry I didn't get--

22 ARENDT: We would appreciate that.

23 CRAIG: Yeah, can I make a comment as he's finishing?
24 Craig, Board.

25 As you write them up, I wonder if you'd take

1 special pains to highlight the areas where you think the
2 Board might take action. You identified several of those in
3 your presentation.

4 RESNIKOFF: Yes, I'll be glad to do that.

5 CRAIG: Thank you.

6 ARENDT: We're slightly early, so we'll still have a
7 break, and let's get together at 3 o'clock.

8 (Whereupon, a break was taken.)

9 ARENDT: Well, I guess we'll start without them, but
10 we've got to have our speaker, though.

11 Our next speaker will be Robert Jones, and Robert
12 will be discussing the transportation of commercial spent
13 fuel.

14 JONES: We have a few stragglers back there.

15 As tempted as I am to discussing a few of the
16 points that Dr. Resnikoff addressed just before the break, I
17 won't. Perhaps there will be some opportunity tomorrow in a
18 panel discussion to address those.

19 I guess this is also part of the twilight zone when
20 lunch kind of kicks in. I hope everyone had some coffee
21 before coming back. I don't know that I'll be nearly as
22 entertaining as the prior speaker, but I'll see what I can
23 do. Also, I apologize, I don't have any elegant visual aids
24 either, but hopefully they're to the point.

25 As you can see, I'm going to talk about

1 transportation planning and execution, commercial spent
2 nuclear fuel movement. This is sort of--although you've
3 heard an awful lot of talks about probabilistic risk
4 assessment and modal studies and structural analyses, this is
5 kind of where the rubber meets the road, and I thought I'd
6 give equal opportunity to the other modes of transportation.
7 So this is sort of where the hoe meets the harbor or where
8 the wheel meets the steel. Use them as you like.

9 So I'm going to talk about, first of all, the
10 definition of shipping campaign. You've heard that word used
11 a lot, and I'm going to tell you what that really
12 constitutes. I'm going to discuss pre-shipping planning,
13 pre-shipping mobilization. Then we'll talk about shipping
14 activities, post-shipping activities, and then I'll wrap it
15 up with a little show and tell.

16 So you can see from the slide that my name is
17 Robert Jones, and I've been in the nuclear field for 31
18 years; 28 of those have been involved with spent fuel
19 packaging, transportation, some storage as well in more
20 recent times. I have designed, licensed, constructed and
21 tested transportation systems, casks if you will. I have
22 directly participated in the shipping of spent nuclear fuel,
23 and I have performed studies and assessments of practically
24 every aspect of the movement and storage of spent fuel. And
25 I'm also acting as my own slide turner here.

1 Jim McClure this morning has presented some--oh,
2 gee, thank you, Woody.

3 Jim McClure presented statistics on spent fuel
4 transportation in the U.S., and, you know, I really find this
5 to be an enviable record, and it really didn't happen just by
6 accident; no pun intended. It really happened because those
7 people in the business, those entities and those individuals
8 are very much aware of the responsibility that they have to
9 the general public. And one of the sources of that
10 responsibility, of course, is that we all, ourselves, our
11 families and our friends, are all members of the general
12 public. So, clearly, we take our business very seriously.

13 Now, there have been--this number, this 2,600
14 shipments, it seems to vary, and it kind of depends on
15 whether you're talking about since 1979 or whether you go
16 back into the '60s. But let's just take that number, that
17 there have been roughly 2,600 shipments of commercial spent
18 fuel in the country over the past three decades or so, and
19 although this really isn't an enormous volume by European or
20 worldwide standard, nonetheless it's significant. You can't
21 pawn this off as being just a trivial amount. These
22 shipments fall into two general categories; they are sort of
23 individual shipments, and then there are "campaigns," and
24 I'll use that in quotations.

25 Individual shipments have tended to be sort of the

1 onsies, twosies (sic) used to ship lead test assemblies from
2 reactors back to hot cells for examination, a very important
3 part of the nuclear fuel development programs, but the bulk
4 of the fuel have been shipped in campaigns where multiple
5 shipments, usually with several casks in service, are
6 scheduled and conducted from one facility to another.
7 Campaigns are conducted to minimize the impact of spent fuel
8 shipping on the shipping and the receiving facilities. By
9 blocking out specific periods and maximizing the shipping
10 activity, these facilities are better able to mobilize their
11 resources, equipment, personnel and infrastructure. In other
12 words, spent fuel shipping at a reactor site is not something
13 that they do routinely. They have to change a lot in order
14 to gear up for that, and, therefore, the campaign kind of
15 puts that all in a block, if you will.

16 So let me illustrate a campaign by describing the
17 Shoreham Fuel Project in the next slide.

18 Now, the Shoreham Fuel Transfer Project was a
19 shipment of 560 radiated BWR fuel assemblies from the
20 Shoreham Nuclear Station in New York to the Limerick Nuclear
21 Station in Pennsylvania. The Shoreham plant was being
22 decommissioned, and the 560 assemblies represented the first
23 and only fuel core. Remember, that was a very prematurely
24 decommissioned plant.

25 Due to the low burnup, the fuel had had energy

1 value and was being shipped to another BWR, that is Limerick,
2 for continued use. Because the fuel had produced power
3 during Shoreham testing, it had to be shipped in spent fuel
4 shipping casks due to the fission product inventory. The
5 fuel actually had like a two effect at full power days, but
6 that was enough to make it relatively high. Contact doses
7 were in the order of 100-R per hour.

8 Two Model IF-300 railroad shipping casks were used.
9 The transportation was via heavy haul, barge and railroad.
10 So it was truly an intermodal. Total one-way distance was
11 about 400 miles, and it went from the north shore of Long
12 Island, you know, where the Shoreham is--north shore of Long
13 Island, out around the tip of Long Island, down along the New
14 York and New Jersey shore, and up the Delaware River,
15 eventually going over land to the Limerick Station, which is
16 about 50 miles west of Philadelphia.

17 Now, the project planning began in 1990 before the
18 selection of Limerick as its destination. Several other
19 facilities were considered before Limerick. In one case,
20 significant planning was performed for that site before it
21 was dismissed in favor of Limerick. Once the final
22 destination was identified, the campaign planning took
23 roughly six months, although much of the preliminary work had
24 been done looking at the prior location.

25 The final closeout of this, we estimated it would

1 take something in the order of a year. If we took the prior
2 work and we took the actual work when Limerick was selected,
3 kind of compress those, we think that it would take about a
4 year to do the preliminary work before shipping and one month
5 more for the final closeout.

6 So the Limerick campaign, then, kind of consists of
7 this list here, all the pre-shipping and preparatory
8 activities, a couple of casks, packaged to prevent in-transit
9 damage. That's an artifact of that particular shipping
10 campaign because we're going to reuse the fuel. You don't
11 generally do that for spent fuel that's going for disposal.
12 But the significant thing is two casks, 17 assembly per cask.

13 The plan is to ship by barge from the Shoreham
14 Station to the fossil fired plant, Eddystone Generating
15 Station, which is on the Delaware River. From there, it
16 would go by railroad, from Eddystone to Limerick Station. So
17 it is like a 350-mile trip on the water and about a 50-mile
18 trip on the railroad.

19 The plan was that one barge and one rail cask were
20 assigned as a pair, and the two casks sort of move in
21 opposition to one another, sort of the loaded passing the
22 empty at sea. The total turnaround time, that is the time
23 from the loaded outgoing one until that one came back and was
24 going out again loaded was projected at about 11 days, and
25 there was three-day headway between the two casks. So this

1 would yield roughly two shipments every couple of weeks. A
2 total of 33 shipments were required to move 560 assemblies.

3 We needed two intermodal transfers. The first one
4 was a roll-on/roll-off operation at the Shoreham on-site
5 barge facility, where the heavy hauler, a heavy haul
6 transporter would move the cask from the Shoreham reactor
7 onto the barge. And then there was a second intermodal
8 transfer, which was the lift-on/lift-off operation at the
9 Eddystone coal plant where a semi-permanent crane
10 installation was installed specifically for that operation in
11 order to move the cask between the--actually a cask and skid
12 combination between the barge and the railcar.

13 So we expected the total campaign to take something
14 like a year, and then we had a two month time-out while one
15 of the Limerick units went down for refueling. And in the
16 month or so prior to the refueling outage, we had to kind of
17 break ranks a little bit and sort of change the way that we
18 scheduled shipments in there because there's an awful lot of
19 site preparation for a refueling outage.

20 We also committed to make an attempt to try to see
21 if we could move fuel into the plant during the refueling
22 outage. We didn't think that was going to happen, and we
23 were certainly correct in that.

24 And finally, the campaign concluded with all the
25 post-shipping demobilization and documentation activities.

1 So as you can see, a campaign is a very complex
2 undertaking. It requires significant planning and ample time
3 for execution.

4 So let's get into the planning part. Throughout
5 this I intend to kind of cite examples of issues that pertain
6 to more of the generic discussion of shipping. I'll cite
7 examples from Shoreham.

8 Now, Shoreham, obviously, is not the only shipment
9 that's--a campaign that's gone on, but it's fairly current,
10 and I think that it is quite representative of what a major
11 campaign would entail, so that's why I use it as a set of
12 examples.

13 No planning activity can begin without marshalling
14 the team. The ideal initial planning team, certainly the
15 cadre of people who have short of been there and done that--
16 maybe I'm being a little parochial, we old-timers who have
17 been there and done that, but I really believe that there's
18 no substitute for experience. This isn't to say that you
19 can't start from scratch and build a team, and I'm certain
20 that that will have to happen at sometime in the future. But
21 recognize that the learning curve is fairly long, and again,
22 I want to emphasize the need for starting things further in
23 advance than maybe seems logical, but, you know, time
24 invariably seems to get away from you in these sorts of
25 things.

1 Next, routing, modes and equipment. A great deal
2 of planning goes into the assessment of the logistics of the
3 campaign. The early work involves the matching of the
4 reactor site with the appropriate transportation system.
5 Items of concern are type, characteristics and quantity of
6 fuel, reactor facility characteristics for cask handling,
7 local transportation infrastructure, cask system
8 characteristics and availability, routing, and proposed
9 campaign schedule. These form the skeleton of the campaign.
10 And generally early on, options for fulfilling the
11 transportation mission are developed in the process. Some
12 sites there are no options, you can only go one way. But a
13 lot of sites you find that there's rail versus truck versus
14 intermodal, and early planning generally keeps all options
15 open.

16 As the planning proceeds, more details are
17 developed about the route and modal alternatives. The
18 process is a carefully balanced one, which through the
19 development of additional data actually reduces that options
20 list. Cost is one of the factors considered in the planning,
21 obviously. Safety is the underlying consideration, but the
22 rules, regulations, equipment and personnel requirements
23 really makes each shipping mode and type of equal safety.

24 A cross consideration example would be truck versus
25 rail. Truck shipping is typically at lower cost than rail,

1 but it requires a lot more shipments. Rail, few shipments,
2 higher cost. So it's a balancing act between--that's just an
3 example of one of the cost tradeoffs that one has to do in
4 early planning.

5 Route selection, of course, is mode-dependent. DOT
6 regulations, as you heard earlier, prescribes the route for
7 highway shipping under the so-called HM-164 protocols. To
8 date, rail and water routes remain at the discretion of the
9 shipper consistent with other applicable regulations. As the
10 planning converges on the selected route, there are other
11 touch points. One of the most important ones of these, of
12 course, is the NRC route approval, and again, earlier this
13 morning you heard what that entails. I'm sure that Charlie
14 Haughney will be glad to discuss that more tomorrow if there
15 are questions on what the NRC goes through. And, of course,
16 that approval is independent of shipping mode. Really, it's
17 not just the highway in that instance.

18 Now, federal regulations are not the only route
19 selection considerations. Various states have HAZMAT or
20 radioactive material specific regulations which are
21 supplementary to those of the Federal Government. In some
22 cases, the state regulations may be contrary to or more
23 restrictive than those of the federal regulations. And, of
24 course, in this latter case, federal regulations may pre-empt
25 them.

1 However, as a practical matter, the commercial
2 shipper, at least, may choose to obey them and bear the added
3 inconvenience, rather than engage in challenging their
4 legality, since such a challenge could be costly and very
5 time consuming, and their schedule is generally breathing
6 down your neck throughout all of these things.

7 There are instances, however, when a shipper is
8 forced--either the legal aspects are so daunting that they
9 must be challenged, or sometimes the shipper is forced to
10 defend itself. An example in the Shoreham case was that the
11 State of New Jersey attempted to invoke the Coastal Zone
12 Management Act in order to stop shipping along the New Jersey
13 coast. Now, we weren't shipping through New Jersey, and I
14 think we entered New Jersey territorial waters when rounding
15 Cape May and coming up the Delaware River, where had we been
16 100 yards on the other side of the center line of the river,
17 we would have been okay, but that's not the way the traffic
18 moves on the Delaware River.

19 The State sued in Federal Court, and the case
20 eventually went to the Supreme Court. In fact, it went twice
21 because there were two arguments that were forwarded by the
22 State of New Jersey. The Supreme Court declined to hear the
23 case. The lower Court's ruling in favor of the shipper
24 stood. No injunctions were issued. The shipments went on
25 while this was going, but it was felt important to fight that

1 in the courts.

2 By contrast, we actually changed plans from a heavy
3 haul to--we were going to heavy haul from Shoreham Station to
4 Brookhaven. We were going to load the casks onto the
5 railroad at Brookhaven, and then we were going all the way to
6 Limerick by rail. There was such an outcry in the city of
7 New York over these. Even though we probably could have
8 prevailed in some kind of a pre-emption case, it was decided
9 for optical, political reasons to simply use barge and run
10 the city of New York and get on with our program.

11 So there are two examples of where we stayed to
12 fight and other examples where we chose to pick the more time
13 consuming, costlier route and avoid the delays that might be
14 associated with litigation.

15 Facility requirements. The ability of the reactor
16 facility to support the shipping campaign, of course, is an
17 important consideration. This includes both the physical
18 plant as well as the personnel. One of the key items in any
19 investigation is the heavy lifting capability of the reactor
20 facility. The NRC guidelines on heavy lifting are contained
21 in NUREG-0612, and in some plants structural or equipment
22 modifications are needed in order to comply with 0612. The
23 cost and feasibility of this compliance are certainly
24 considered in the cask size selection, since the selection of
25 a lighter weight cask, let's say a legal weight truck cask,

1 might yield some benefits in 0612 compliance than the
2 selection of a rail cask being significantly heavier.

3 Again, this illustrates the need for early planning
4 since modifications to plant structures or safety systems are
5 very time consuming, and quite frequently they involve NRC
6 licensing.

7 There are many facility requirements for fuel
8 shipping, such as air and water service, decontamination
9 equipment and chemicals, fuel-handling equipment, cask-
10 processing equipment, such as vacuum drying, compressed
11 inerting gases, scaffolding, special tools. The list goes
12 on. Of course, every cask type kind of has its own unique
13 requirements, but the fact is there is an enormous amount of
14 stuff that you have to get ready for.

15 Generally, a nuclear station has the staffing
16 capability to perform cask preparation, loading and shipping.
17 There are unique requirements, such as heavy hauling to a
18 railhead or a barge slip. And, of course, then those
19 specialists are included in the planning.

20 Next, emergency response and public outreach.
21 Another route selection aspect is emergency response
22 planning. Somewhat related to this is public outreach.
23 Shippers typically rely on the existing infrastructure for
24 emergency response; that is, the first responders. You heard
25 Earl Easton talk about that this morning.

1 Experience shows that the states are generally well
2 equipped through their emergency management organizations to
3 deal with accidents involving hazardous materials, including
4 nuclear materials. Of course, all of the states'
5 preparedness is supplemented by federal or even utility
6 resources. Utilities are clearly not unaware of the shipping
7 needs, especially under accident conditions.

8 The key to success in certainly emergency planning,
9 or one of the keys to success is the Transportation Plan and
10 its implementation. The Transportation Plan is a blueprint
11 of the entire campaign, including emergencies. Emergencies
12 are dealt with through contingency plans, equipment tracking
13 and communications with resources.

14 As an aside, emergencies are indirectly dealt with
15 in the Transportation Plan by insisting on those steps that
16 are necessary to keep accidents from happening. It sounds a
17 little odd, but really, you know, we go through a great deal
18 of effort to assure that there will be no accidents, but we'd
19 be unrealistic if we didn't think that the unplanned might
20 occur. It's important to note that emergencies are not
21 necessarily accidents. Indeed, most of the items where the
22 shipment is delayed are due to malfunction, such as radiator
23 hose failure or flat tire or some other non-threatening
24 event. Even these are infrequent due to the high level of
25 maintenance inspection to the equipment.

1 As we know, Part 73 calls for notification of the
2 governor or designee of each state traversed at the time of
3 shipment. However, contact is made in the planning stage
4 with the state emergency management organization long before
5 shipping. Information on routes and the nature of the
6 shipments is shared, and arrangements are made for
7 cooperation, and the states are eager to do this. Usually
8 the governor's designee for specific shipping notification is
9 either the state police or the emergency management
10 organization.

11 I can tell you that the states are not surprised by
12 shipments. They know well in advance just exactly what's
13 coming through.

14 It is currently not required to perform emergency
15 response training for all responders along the route of
16 travel. Certainly, in the future, the provisions of 180(c)
17 of the Nuclear Waste Policy Act calls for additional training
18 and equipment for responders along the routes of travel.
19 This is something that DOE certainly has plans for.

20 In the past, shippers have been willing to
21 voluntarily provide emergency response information to those
22 agencies that desire it. Often this comes as a request
23 during any public outreach activity. Outreach programs have
24 been selectively used in the past where there may be some
25 local interest.

1 In the Shoreham Project, for example, an
2 information center was set up at a local hotel within
3 Philadelphia. The reason for that is that the train from the
4 Eddystone Station to the Limerick Station passed through
5 downtown Philadelphia, very close to downtown Philadelphia.
6 Philadelphia Electric, or PECO Energy, set up an information
7 day, rented the ballroom at a local hotel, opened it up to
8 the public, announced it well in advance in order to give the
9 public an opportunity to become familiar with what was going
10 on.

11 Now, I know of no time when a shipper has been
12 unwilling to provide the public with the information on
13 transportation safety, but as a rule, massive outreach
14 programs have not been conducted.

15 Point of fact is that outreach is performed to
16 provide the public with information, but it doesn't
17 contribute to safety. I mean, safety really is inherent in
18 the equipment, personnel, rules, regulations and organization
19 of the campaign. And I'm not suggesting by this that the
20 public doesn't have a need to know, but the safety is not
21 from a public outreach program.

22 The best information comes from generic programs, I
23 believe, that generally enlighten the public on the shipment
24 of radioactive materials rather than key into a particular
25 shipment.

1 However, PR planning with the campaign was
2 necessary, we did it at Shoreham, in order to provide facts
3 to those who are interested, such as the media or
4 representatives of the public. An awful lot of politicians
5 were very much interested in these shipments, and we made a
6 particular effort to make sure that they were comfortable
7 with what we were doing.

8 Now, industry does not try to hide the shipments,
9 but I think it feels that little is gained by massive
10 advertising them. Ask yourself when the last time was that a
11 chemical company told you about a chlorine shipment that was
12 coming through your neighborhood. You know, never has. In
13 fact, I think that the nuclear industry probably does more
14 than any other hazardous material shipper to provide
15 information to the public.

16 Planning integration. So I kind of hit a bunch of
17 individual items here that are aspects of campaign planning.
18 These become integrated into a comprehensive plan, which all
19 parties contribute to, and they buy into really. The
20 Transportation Plan is essentially the campaign bible. In
21 the case of a campaign where there are multiple modes of
22 shipping, a separate plan may be written for one particular
23 aspect. In the Shoreham Project, there was a separate Marine
24 Transportation Plan which reflected the unique requirements
25 of the waterborne shipping environment. And this, of course,

1 was integrated into under the subset of the master
2 Transportation Plan.

3 So getting into mobilization. Using the
4 Transportation Plan as a basis, the next phase is
5 mobilization. Mobilization has many dimensions, from
6 equipment and personnel acquisition to procedures and
7 permits. It expands a great deal. This is where our
8 planning is now put into action.

9 The transition from planning to implementation
10 really is pretty seamless. Generally, the same core team
11 that performed the planning also does the mobilization. The
12 team is augmented by disciplines such as quality assurance,
13 procurement, reactor operations, maintenance and human
14 resources. The skeleton that was created by the planning is
15 filled in with the necessary equipment and personnel in this
16 mobilization phase. This is a gradual effort as stages of
17 mobilization are reached.

18 For example, when the cask selection is complete, a
19 cask specialist or field engineer is assigned to the team.
20 In the Shoreham Project when we finally settled down on barge
21 shipping, we added a marine engineer to the team because of
22 his unique experiences.

23 When the team is essentially complete, I believe
24 it's a good idea to engage in a team-building activity. Now,
25 team building was done very successfully on the Shoreham

1 Project. This is actually a formalized process whereby all
2 of the members of the team are brought together. They get to
3 know one another. They are thrown problems that require
4 cooperative problem solving, a very healthy kind of thing.
5 The reason that that is done is because you have team members
6 that are on the shipping members, you have team members on
7 the receiving end, and you have team members in the middle.
8 And working together in a coordinated fashion with a common
9 objective, even though in reality distributed, this makes the
10 whole operation go well. It's really the heart of team
11 building. I would recommend wholeheartedly for future
12 shipments.

13 Now, as I said earlier, mobilization can be a
14 fairly time-consuming process. It's not uncommon that
15 equipment and facilities require modification and possibly
16 even licensing. In the Shoreham effort we had to build two
17 new cask baskets. The BWR baskets for the IF-300 cask
18 originally were 18 element ones, but because of the fuel
19 protection devices that we had to build, we had to reduce the
20 capacity by one assembly, so we had to build, design,
21 analyze, license, construct two new baskets for that. We
22 also had to qualify the fuel cushioning system as well.

23 Often reactor facility or sites require
24 modification. Rail service may have to be extended or
25 perhaps track upgrading performed. We had to put in the

1 intermodal transfer facility at the Eddystone Station, which
2 meant putting in several hundred feet of new track and
3 mounting a semi-permanent mobile crane.

4 A barge slip might be required. Building equipment
5 may require relocation to provide clearance for the cask.
6 There are usually, you know, a whole slew of site specific
7 changes that must be completed prior to actually beginning
8 the shipping.

9 In anticipation of having to repair or debug
10 equipment or systems, specialists are brought on site or
11 identified for rapid mobilization. A cask field engineer is
12 usually on site for training and overseeing. Sometimes that
13 individual is on site for the entire shipping campaign.
14 Sometimes that person is there for the first number of
15 shipments and then is on call for the balance. And, of
16 course, an inventory of cask and ancillary equipment spare
17 parts must be secured and must be ready.

18 Another part of mobilization is organizing for the
19 control of the actual shipping operation; that is, a traffic
20 management function and the facilities and equipment for its
21 implementation.

22 Traffic management revolves around a focal point, a
23 command or a control center. This is usually located at the
24 shipper's facility, and it must be staffed around the clock
25 by regulation. It could be incorporated into the reactor

1 control room activities; not necessary, but that makes a lot
2 of sense. This control center integrates the transportation
3 activity, serves as a master location for tracking and
4 communications and dispatches resources as required to keep
5 the operations moving.

6 Now, cask loading and preparation for the shipment
7 is usually under the control of plant maintenance or plant
8 operations. It may be a combination of those two. Once
9 prepared for shipment, the traffic management takes control
10 and carries it forward to the destination. Even the empty
11 cask being returned falls under the control of traffic
12 management.

13 Next is training. Prior to the beginning of
14 shipment, of course, we go through what are called dry runs.
15 This generally involves the cask itself, and it's used for
16 personnel training purposes.

17 Other tests include putting the traffic management
18 function through its bases, particularly its bases when
19 confronted with off-normal conditions. You can call these
20 tabletop exercises, or sometimes they're structured actually
21 using the resources out in the field.

22 Communications systems and equipment are all tested
23 for effectiveness, and, also, all of those who were involved
24 in the spent fuel handling, and I'm talking about tugboat
25 captains, deck hands, railroad personnel, you name it, are

1 all trained per DOT regulations for hazardous material
2 handling. And, of course, all the training follows written
3 procedures, usually the reactor facility requirements, which
4 means lots of documentation, tests, et cetera.

5 Next are permits and approval. Permits and other
6 regulatory items are secured in the mobilization phase.
7 Route approval is included in this list; for example, the DOT
8 route approval part. The Coast Guard reviewed the Marine
9 Transportation Plan for Shoreham, and this included not only
10 equipment, but also the route. In the course of that, they
11 established a barge tie-down inspection protocol prior to
12 each shipment where several Coast Guard members would come
13 out and actually do a walk-down of the barge and the tie-down
14 prior to each shipment.

15 When we were considering the Shoreham alternative
16 transportation where we went on public streets, where we were
17 going to Brookhaven and didn't, one of the early
18 alternatives, we were prepared to look at overweight permits
19 at the state of New York and requirements of the local
20 community for police escort.

21 Of course, we also have to arrange for the escorts
22 to comply with Part 73, and, of course, the project team gets
23 really crazy about this time. They're very schedule
24 conscious, and mobilization is something that has an awful
25 lot of things in it. And quite frankly, the permits and

1 approvals are generally on the critical path, and they
2 generally are the ones associated with the most uncertainty.
3 Sometimes it's difficult to get approval--those who are in
4 the position of giving approval to move. So times get a
5 little tight usually at the tail end of the mobilization
6 phase.

7 Procedures is the next item. Since these shipments
8 are initiated at a nuclear facility, of course, all
9 associated activities are under the rule of the plant, which
10 are typically dictated by NRC regulations. This means
11 procedures and safety committee reviews. Of course, the NRC
12 resident inspector gets involved in all of these things, not
13 only looking at the procedure writing, but also looking at
14 the physical handling of the cask.

15 Procedure writing and approval follows all of these
16 strict rules. Input to these comes from sources such as the
17 cask vendor, the carrier and any other knowledgeable
18 resource. Most cask and fuel-handling activities are safety-
19 related and require such controls as sign-offs, independent
20 verifications, the use of SROs for fuel handling, et cetera.

21 Next are carrier arrangements. Carrier
22 arrangements are in this final phase. There's sort of the
23 good news/bad news in this aspect.

24 We'll start with the easiest one, highway. For
25 highway shipments, there are several specialized carriers

1 that have the properly equipped trailers and qualified
2 drivers. Truck casks generally have a custom built trailer
3 to integrate with the cask, so the carrier only supplies the
4 driver, the motive power and associated services. And these
5 companies have contacts with the resources for complying with
6 Part 73, including escorts, communications and sometimes even
7 satellite tracking systems.

8 So arrangement with the highway carriers is
9 relative straightforward. There are certainly people in this
10 room who deal with them every day and I think would find them
11 to be pretty easy to deal with.

12 More difficult to arrange are railroad barge and
13 the sometimes associated intermodal services. Railroad
14 arrangements may involve several rail lines, each of which
15 may require contracts and operating rule agreements. These
16 are generally negotiated tariffs. Railroad shipping casks,
17 like their highway counterparts, are designed with their own
18 dedicated railcars. Thus, the railroad only provides motive
19 power and buffer cars, which are generally empty cars,
20 flatcars for example, that separate the locomotive and
21 caboose from the cask or casks, plural, because you can fit
22 more than one spent fuel rail cask in a train.

23 Some form of escort transportation, either a
24 caboose or similar car, must be included in the train.
25 Obviously, the Part 73 escort requirement pertain to rail, as

1 they do for any other mode.

2 The rail cask can move in regular freight or
3 dedicated freight. The latter, dedicated freight, of course,
4 is where only the cask car or multiple cask cars are in the
5 train with their associated buffer cars, and, of course, with
6 this escort car, whether that be a caboose or something more
7 luxurious than that.

8 All commercial fuel rail shipments in the last two
9 decades, about, have been made by dedicated trains. My
10 understanding is that DOE hasn't made up its mind with
11 respect to how it would intend to ship by rail in the future,
12 whether it be regular freight or dedicated train. Dedicated
13 train offers greater flexibility and control over the
14 shipment, but quite frankly, the cost is high compared to
15 regular freight service. A dedicated train would typically
16 run \$50 a train mile, independent of the number of rail casks
17 that might be in it. And this \$50 is in addition to the
18 regular tariff on that particular commodity, and that would
19 be based on the number of casks in the train. So it can be
20 expensive.

21 Some plans that I've heard suggest the possibility
22 of dedicated train on the loaded and regular freight service
23 on the empty.

24 Just sort as an aside from what I've written, there
25 was some talk by the gentleman from DOT about rail routing.

1 And I've dealt with railroads a fair amount, and there are
2 some things where--some things that are in short contrast in
3 the rail arena as compared to the highway arena, and they
4 kind of go like this: A lot of it is keyed into the fact
5 that the railroad owns the rail, but the railroad has a vast
6 amount of material that it has to ship, and there really are
7 no opportunities in this day and age of railroads just adding
8 more rail lines. You know, the rail lines that we see now
9 are almost going to be the rail lines that are going to be
10 around for an awful long time to come.

11 So the juggling act, if you will, of trying to move
12 cabbages and, you know, lettuce from my state of California
13 and all of that, that juggling act is particularly difficult
14 for the railroads. And the railroads find--you know, we've
15 made rail shipments where the railroads will say, we're going
16 to go from here to there to there to there, but they find
17 that due to some delay in the shipment of coal from X to Y,
18 that they would prefer to route our shipment from here to
19 there rather than from there to there.

20 So, you know, they really need a lot more
21 flexibility because there are just a finite number of rail
22 lines that exist, and under at least current thinking about
23 restricted train speeds, 35 miles an hour, and passing
24 restrictions and all of that, a lot of railroads find
25 themselves in the position where the presence of a special

1 train moving at slow speeds almost backs them up to the point
2 of being unable to move on certain main lines. So there's a
3 great deal to be looked into on the matter of rail routing.

4 So let me jump--sorry about that little dialogue.

5 Let me jump to barge now. Now, barge shipping
6 involves carriers and equipment which must meet--there's an
7 ANSI Standard N14.24, that is a very good standard, defining
8 just what the requirements are for barge shipping. And, of
9 course, the Coast Guard then has an awful lot of requirements
10 as well. So, you know, the ANSI Standard and Coast Guard
11 pretty much define what you have to do in order to ship by
12 barge.

13 The number of qualified carriers, principally due
14 to the requirements for the barge in terms of its damage
15 stability and compartmentization and things like that, there
16 are really not very many carriers that have barge
17 capabilities that meet those standards. Obviously,
18 negotiations are required to get some agreement on service,
19 personnel, equipment, insurance, et cetera. Every barge
20 shipment--every barge shipment, of course, and some rail
21 shipments are intermodal. I mean, barges don't go up to a
22 repository or don't go up into a fuel building. So there's
23 always some transfer from barge to some other mode of
24 transportation.

25 So invariably, if you select barge, you have to

1 deal with some kind of a rig or a heavy hauler, and there are
2 a number of very qualified vendors in this country, many of
3 whom team bid, one that I know of on the East Coast that
4 actually is a rigger heavy hauler and also is a barge line,
5 so it is a vertically integrated company.

6 Let me turn to outreach as the last item in this
7 slide, only to say that in this mobilization phase is where
8 your planning for outreach gets put out there. You know, it
9 doesn't do any good to perform outreach too far in advance of
10 when you're really going to ship.

11 So after sweating out all of this planning and all
12 of this mobilization, the shipping actually, although it's
13 very exciting to do that first shipment, it's a little bit
14 anticlimactic because if you've done your job right in the
15 planning and mobilization phase, this is all going to go
16 pretty easy. Of course, the cask and its ancillary equipment
17 are on site before shipping occurs, before the dry run and
18 familiarization training.

19 So the very first activity for shipping is loading
20 and preparation of the cask, and I'm not going to go into any
21 great detail on this. Cask loading occurs in the fuel pool
22 of the reactor. It's either in containment or in the fuel
23 building. Cask sealing, testing and decontamination occur
24 also within those particular buildings. The cask is moved to
25 its transporter using the main building crane and is secured

1 to the transporter. Radiation monitoring occurs throughout
2 the handling process. Preparation for shipment involves
3 final inspections, placement of shipping seals, final
4 radiation surveys, instructions to the carrier, shipping
5 papers in accordance with DOT regulations and notification of
6 the control center to institute the traffic management
7 function.

8 Remember, I said there was this handoff that kind
9 of went from plant operations to plant maintenance to the
10 control center when the cask was ready to go.

11 Carrier arrangements in this context differs a
12 little bit from the prior carrier arrangements. You know,
13 you don't want to have the cask languishing around the site
14 for a long time. On the other hand, you don't want to have
15 truck drivers hanging around the site for weeks either. So
16 there's a need to try to stage the arrival of the locomotive
17 or the barge or the truck or the tractor such that it can,
18 with little delay, can hook up and move out into the public
19 domain.

20 The whole campaign is scheduled such that near
21 continuity is maintained. The cask loading and preparation
22 time is reasonably predictable, but there certainly is a
23 learning curve. And sometimes things occur. Sometimes
24 decontamination takes a little bit longer than you
25 anticipated, so you've got to have sort of a flexible

1 arrangement with the carrier.

2 The Shoreham Project, because we had heavy hauling,
3 we had barge, we had rail carriers, we had two intermodal
4 transfers that had lots of personnel around it, it was a
5 challenge. It was a real juggling act. However, the strong
6 traffic management function and team work made that operation
7 go very smoothly, I thought.

8 I struggled with this next one. I didn't know what
9 else to call it, so I called it notoriety, which I thought
10 was a pretty benign term.

11 As you know, the times and dates of all shipments
12 can't be divulged by Part 73 except on a need-to-know basis.
13 However, if there's going to be some notoriety from the
14 press or from any protest organizations, then this is when it
15 occurs. I mean, it's the first shot out of the blocks where
16 any kind of a protest is going to happen.

17 And although this is an infrequent occurrence and
18 is relatively benign in those instances when it has happened,
19 the shipper really has to be prepared to deal with it.

20 In the Shoreham Project, procedures were written to
21 cover actions to be taken in the event of such an event. We
22 actually had expected an attempted boarding of the barge by a
23 nameless, in this forum, protest group, and although there
24 were some--you know, the folks, the deck hands and all of
25 that sometimes are a little rough, we had a procedure in

1 place that called for, you know, passive resistance and
2 notification of the law enforcement authorities. We would
3 take no actions to stop that, and everyone bought into that.

4 And as an aside, nothing ever happened in all of
5 the 33 shipments, and we were glad that nothing happened.
6 But one would be foolish to think that it couldn't happen,
7 and one needs to be prepared for it.

8 In-transit activities. You know, once underway,
9 the shipping proceeds per the procedures. I mean, this is
10 why you did the training, this is why you created the plan.

11 And, of course, the routes are predetermined.
12 Notifications inform the governors or their designees of the
13 shipment. The in-transit security measures are implemented.
14 Communications occurs apart from just that required under
15 Part 73. Sometimes satellite tracking is used, although it
16 isn't required. The technology, and I think that the DOE is
17 looking at this TRANSCOM, which is likely to be--it's likely
18 that all of the shipments made by DOE of commercial fuel will
19 be satellite track.

20 Of course, the carriers have multiple ways of
21 communicating and tracking, so it isn't just those that are
22 there for Part 73, but it's there for those--just because the
23 barge company and the tugboat company want to know where
24 these people are, what their needs are, what's happening. So
25 lots of communication that goes on during these.

1 Shipments may or may not have some form of
2 radiological monitoring while underway. Of course, the
3 specialized highway carriers are trained and have with them
4 radiation monitoring equipment.

5 For the Shoreham shipments, we actually had a
6 radiation technician accompany the loaded shipments for both
7 the barge and the railroad segments. To be candid, this was
8 regarded as more of a public relations requirement. We were
9 confident that his presence was not needed for any shipping
10 safety, and I'm pleased to say that his services weren't
11 required in any of the 33 shipments. He just got probably
12 more tugboat time and tugboat food than he ever bargained
13 for. And that means it's worse than airlines' food, and what
14 does that tell you?

15 Off-normal events. You know, sometimes something
16 happens or occurs in-transit that's not in the baseline plan;
17 weather, road repairs, breakdowns, illnesses, et cetera.
18 There's a number of things that certainly can happen.

19 The Transportation Plan, and that's with a capital
20 T and a capital P, covers these through contingency planning.
21 In the Shoreham Project, for example, a hydraulic winch in
22 the towboat blew a line, and the boat was unable to reel in
23 the barge for its movement up the Delaware River. Usually
24 you tow, you know, like 1,200 feet of cable out behind in
25 open ocean. You reel it in close couple when you're moving

1 in inland waterways or areas like the Delaware River.

2 Advanced planning had towboats on standby, and when
3 the winch problem arose, the control center was notified, and
4 a replacement tug was immediately dispatched. The Coast
5 Guard was notified by the control center, and it immediately
6 responded, and within a few hours, the cable had been
7 transferred to the new towboat, and the barge proceeded to
8 its destination.

9 And in a true lessons learned sense, for all future
10 shipments, new hydraulic lines were installed on all the
11 towboats, and the winch inspection program was intensified.
12 So, you know, we learn these things. It only makes sense.

13 Finally, the receiving facility. I mean, we've
14 kind of marched through this whole thing, but let's not
15 forget the receiving facility.

16 The receiving of the cask and transporter at the
17 end point pretty much terminates the control center's
18 responsibility for the shipment once it gets on site there.
19 The receiving facility unloads and processes the cask and
20 returns the empty to the originating shipper. The control
21 center monitors the empty's progress, since the campaign
22 depends on turnaround time. You know, we're still talking
23 about this block of time that we want to maximize for the
24 movement of a certain amount of fuel.

25 The shipment phase is really a very well

1 orchestrated effort. It involves personnel at the end
2 points, as well as along the shipping route. My experience
3 shows this to be very doable. It's complicated, but it is
4 very doable, and it's been demonstrated time and time again
5 in lots of campaigns conducted in this country, and, in fact,
6 conducted around the world. And despite this complexity, it
7 shows you that the training and the planning clearly pays
8 off.

9 Getting close here.

10 Post-shipment demobilization. This is sort of the
11 old expression about the job not being over until the
12 paperwork is done, and spent fuel shipping is certainly not
13 immune from that old adage.

14 NRC regulations have records and record retention
15 requirements for all of the shipping and fuel transfer
16 activities. In addition, any temporary facility
17 modifications, of course, must be reversed. The cask and
18 equipment must be returned to its owner or perhaps moved to
19 the next location or where it's to be used. Oftentimes, this
20 equipment handling involves decontamination in the case of
21 ancillary equipment. Lifting devices, for example, have to
22 be packaged, decontaminated and packaged in special
23 packaging, and carrier arrangements made to move that on to
24 its destination.

25 And finally, contract items must be reconciled,

1 payments made and all of that kind of stuff.

2 So let me wrap this up by, again, just sort of
3 giving you this snapshot of what was accomplished in the
4 Shoreham Project.

5 It was approximately four years in duration, having
6 been completed in July of 1994. Realistically, if you backed
7 out all of the search for alternative sites before the
8 selection of Limerick and all of that, I'm still going to put
9 this as probably, as a minimum, a two-year window for
10 conducting this shipment.

11 We moved 560 BWR--radiated BWR fuel assemblies,
12 which is roughly 100 metric tons between two reactors that
13 were about 400 miles apart.

14 We moved by heavy haul, barge and railroad, and we
15 had two intermodal transfers per direction.

16 We used two IF-300 shipping casks, shipped them
17 separately, for 33 shipments total.

18 Then we completed our campaign in nine months,
19 which included the two months for the Limerick refueling
20 adage.

21 We had no accidents. And we completed the effort
22 94 days ahead of the contracted scheduled, miraculously six
23 days ahead of the theoretical schedule, and within budget.
24 So I thought it was a damn good campaign.

25 Now for the promised show and tell, here's some

1 photographs. We won't dwell on these unless there's a
2 reason.

3 IF-300 cask at Shoreham Station up on the refueling
4 floor. You can kind of get the relative size. There's a
5 person down here in the lower right-hand corner.

6 Remember, this cask was designed in the '70s for
7 120-day out of core fuel, so it has some design
8 characteristics; for example, the corrugated surface for heat
9 removal that you wouldn't see on a cask designed for five or
10 ten-year out of core fuel as you might see now.

11 Well, I guess it doesn't matter. This is a shot
12 down--kind of down the equipment hatch with the cask on its
13 transporter, horizontally. These are workers preparing it.
14 I don't know if they're preparing it for shipment or
15 receiving it. They may be surveying.

16 These are the small--there's a liquid neutron
17 shield in this cask, and they're expansion tanks for the
18 liquid neutron shield.

19 Valve boxes. These are valve boxes on either end
20 for the drain and vent valves.

21 This is a tipping cradle with the guy who's
22 standing on the blue item, which pivots, and the cask sort of
23 sits in it, so it can go horizontally--horizontally to
24 vertically. That's the tipping cradle right there.

25 Okay. For the shipments, we put--this is not to

1 hide it, but rather there's a personnel barrier that covers
2 the cask that's made of aluminum. And, of course, we're
3 going into a marine environment with salt water, and so we
4 put kind of a canvas cover over the shipment in order to keep
5 salt water spray from corroding the aluminum. Of course, the
6 cask is a stainless steel structure and doesn't have a
7 problem.

8 This is the heavy hauling unit, and it's backing
9 out onto the barge here. This is, again, at the Shoreham
10 site. So it's backing us out onto the barge.

11 Okay. This is now--you can see there's a shipping
12 skid that the cask is mounted on. So we basically backed out
13 onto the barge and then set the cask skid down onto these
14 stands, bolted it to the stands, which are welded to the deck
15 of the barge. And this, obviously, is on the Delaware River
16 where the tug is closely coupled to the barge for moving up
17 the river.

18 This is the lift-on/lift-off facility at the
19 Eddystone power plant. Over here is like a 250-ton crane
20 that picks the barge--picks the skid up off of the deck of
21 the barge, there are the stands that support it, and then
22 simply pivots around, and the railcar is sitting over to the
23 left-hand side of the screen.

24 The next picture I think shows it--there's the
25 crane, and here it's placing the cask skid onto its railcar.

1 This railcar is dedicated. It's part of the transportation
2 system for the IF-300. It has tie-downs here. It has a
3 restraint block in the middle welded to the deck; another
4 tie-down system out here. You can see the cask outline
5 inside the personnel barrier if you look carefully enough,
6 and they're just setting it down.

7 I think we have one remaining.

8 This is now how the shipment proceeded. Actually,
9 this is the caboose. They do put a buffer car. This was on
10 site at Eddystone. When they got this out, they actually
11 inserted a flatcar in between the caboose, which held our
12 fearless technician. He was probably getting pretty tired by
13 the 33rd shipment, and the railcar itself.

14 That's the last slide and the end of my
15 presentation. So if you have questions, I'll try to answer
16 them.

17 ARENDT: Yeah, who determined the adequacy of the
18 railcar?

19 JONES: The adequacy of the railcar?

20 ARENDT: Yeah, I saw the railcar there. Was there a
21 special specification that had to be followed?

22 JONES: Well, actually the railcar was--there's kind of
23 two parts, maybe three parts to that. First of all, we got a
24 railcar that was a design--it was a previously used design.
25 There's a standard railcar for that particular capacity.

1 It's like a, you know, 100-ton railcar. There are lots of
2 ways you can buy them. This one happened to have a cast
3 steel underframe, which was sort of the Rolls Royce of
4 railcars.

5 But we didn't have to do any particular testing.
6 In other words, if you had a custom-built railcar--if you
7 recall the NL-1024 cask, which dates back down to the same
8 era, it had a railcar that was unique, and it had to undergo
9 a bunch of tests that the AAR specifies in order to qualify
10 it. So there are design criteria within the AAR. But if you
11 use a railcar design that is previously qualified for some
12 other service, then you don't necessarily need that.

13 Now, another aspect that we wanted was, we had to
14 be able to carry the loads that are--remember, there are tie-
15 down loads that need to be carried into the deck of the
16 railcar specified. There's some AAR regulations on "g"
17 loadings, and, of course, there's the famous 10, 5 and 2 "g"
18 loadings that are under--in our regulations.

19 We also wanted a railcar deck that you could work
20 on, so it's all steel, rather than--a lot of flatcars, you
21 know, don't have steel decks. We wanted to have some space
22 in order to put additional equipment on the end of the
23 railcar.

24 So there are a number of needs that were fulfilled
25 in the railcar design of selection process.

1 ARENDT: Other questions? Debra?

2 KNOPMAN: Knopman, Board.

3 Since you've had so much to do with the whole
4 transportation stream on spent fuel, perhaps you could tell
5 us a little bit about how various shippers and others that
6 participate in this system insure themselves, what the
7 insurance structure is, which is essentially an indicator of
8 somebody's perception of risk management here, what that
9 looks like. Or is this covered by Price-Anderson to some
10 extent?

11 JONES: Well, first of all, you know, I do not hold
12 myself out as an expert in the insurance arena. So, you
13 know, my understanding from what I read is that Price-
14 Anderson does, indeed, cover these kinds of shipments.

15 There are some who sort of dissect Price-Anderson--
16 I've heard these arguments--who dissect Price-Anderson and
17 say, well, yeah, but, you know, if you interrupted a shipment
18 and diverted it by virtue of, you know, whatever, Price-
19 Anderson language doesn't specifically cover that. And I
20 guess like my homeowner's policy, there are, no doubt,
21 exceptions to everything.

22 But my general understanding is that Price-Anderson
23 is sort of an omnibus policy that covers all of these
24 activities. And I would, you know, defer to anyone who
25 knows, and there are probably lots, I'm sure there are lots,

1 who know more about Price-Anderson coverage vis-a-vis
2 transportation than I do.

3 KNOPMAN: If there is someone here who does know, I'd be
4 interested in talking to you at some point and would also be
5 interested in knowing about, you know, any claims that had
6 been filed.

7 ARENDR: Okay. Dan?

8 BULLEN: Bullen, Board.

9 Just doing a little simple math, you shipped about
10 100 metric tons, and you said the campaign would have really
11 taken about two years with the planning and nine months to
12 execute. And if you do a little math, that means 50 tons a
13 year. And if we're going to get to 3,000 metric tons a year,
14 you've got to extrapolate that by a factor of 60, right? And
15 if you extrapolate that by a factor of 60 and you have
16 limitations like the 35-mile an hour max speed limit of the
17 trains, is there the potential for a shipping campaign at
18 3,000 metric tons a year to be a significant constriction on
19 the rail industry in the country?

20 JONES: I believe the following: I believe that if I
21 use the Shoreham Project as a model, and I say, gee, here we
22 had an expert team with two known end points and two
23 qualified casks and 400 miles apart, and if it took us two
24 years--if it would have taken us two years to do the planning
25 at best, to do the planning--to ship 100 metric tons, I think

1 that the DOE needs to really consider the real world in terms
2 of planning. I get bothered when I see 400 metric tons the
3 first year, stepped up to 600 metric tons, stepped up to--you
4 know. I was kind of upset when I saw transportation and
5 waste exception sort of put on the back burner. And please
6 take this in the right vein, but, you know, much of that
7 flowed from recommendations of this Board.

8 I think that there's a significant misunderstanding
9 about how long it really takes to get the infrastructure and
10 the equipment and the people in place to make it happen--
11 significant.

12 And I think that if we're talking about if we think
13 that Congress is going to act in a timely fashion and we
14 think that shipping to even a centralized storage facility
15 might happen soon after the turn of the century, we could
16 well be behind schedule significantly right now. And, yes,
17 it's going to be put a strain on the rail transportation,
18 since that's really the base transportation mode for the
19 plants, in order to get stuff going.

20 CRAIG: Craig, Board.

21 First of all, I want to thank you for a wonderful
22 presentation. It really enhances my comfort level on this
23 whole business of actually doing it a great deal, to hear
24 about this campaign. So that was really quite fine.

25 I'd like to ask you to explore the lessons learned

1 aspect a bit, and particularly in the context of what the
2 government might be doing. And I was struck by one comment
3 in your remarks where you said something like permits and
4 approvals are often on the critical path, have had the
5 highest uncertainty. That sounds, to me, not the way things
6 ought to be. By the time you get ready to actually do it,
7 one would rather--in a well-run world, all of the permitting
8 would be totally under control, and then you could get on
9 with the task. What can we learn?

10 JONES: What I meant by that was that there are unique
11 approval and permits required almost per every shipment. It
12 seems to me that if one wants to get those things off the
13 critical path, whoever is running the system--you know, I
14 mean, I see the DOE kind of handing off to RSAs. I'm
15 assuming that the privatization efforts will go forward. And
16 if that happens, that kind of delegates to another level an
17 awful lot of the arrangements on a regional basis or, you
18 know, however it might eventually emerge.

19 To me, you can't wait until you are going to ship
20 from XYZ facility and start making plans. I mean, once one
21 has established the mission, and we're talking now a national
22 mission, that's the time to start sitting down with all of
23 those entities that have to be dealt with. And whether
24 that's, you know, the local fire chief--I don't want to keep
25 bringing up Shoreham examples, but the fire chief of

1 Eddystone, Pennsylvania. I mean, this was just, you know,
2 Fred in his office with a half a dozen guys who wanted to
3 know. And, in fact, he had--under their law, he had the
4 ability to stop shipments, and he wanted a decal put onto the
5 transporter that said that he was aware of what was going on.

6 Again, we weren't going to fight that. There was
7 not a reason to do that. It was important that he be happy
8 about it.

9 Well, there may not be a counterpart to Fred in
10 some other county, but, you know, one needs to go and really
11 sort of sort those out. I mean, it's a whole lot better to
12 solve the problems when you don't have the schedule breathing
13 down your neck. I mean, if I look at 400 tons followed by
14 600 tons followed by 800 tons, all I have to do is miss by
15 100 tons on the first year, and now I've added--you know, I
16 mean, I can get accumulative effect that can overwhelm me.
17 You know, I can perhaps never catch up because there's
18 clearly some finite limit to what my shipping capabilities
19 are.

20 So solving the problems in advance when they're not
21 on the critical path, to me, is the thing that you've got to
22 do.

23 ARENDR: Dan?

24 BULLEN: Bullen, Board.

25 Just one quick follow-up. You actually had a very

1 benign waste form or product to ship. Do you expect it to be
2 more difficult when you have the 120-day out of core fuel or
3 the 10-year out of core fuel, or whatever, or do you think
4 that lessons learned, to follow up on what Paul said, are
5 well enough advanced that it doesn't matter what you're
6 putting in the cask because you've got the mechanisms all
7 laid out?

8 JONES: We found that other than the Part 73--remember,
9 we shipped this as special nuclear material of low strategic
10 significance, so we didn't have to go through all of the Part
11 73 stuff. But the fact is that whether it was low burnup
12 fuel or high burnup fuel, the public has a hard time
13 differentiating between those two, and so that was kind of a
14 wash.

15 Now, I suppose that maybe the benign nature of the
16 Shoreham shipment, the Shoreham fuel, caused those who would
17 oppose this to back off because they felt they didn't have a
18 really strong safety argument. But I think that the public
19 in general was unaware of really the differences between
20 high-exposure fuel and the fuel that we were shipping.

21 ARENDR: And technically, there's no difference; is that
22 correct? From a technical point of view, it doesn't make any
23 difference?

24 JONES: Well, I don't know what you mean by it. The
25 fission product inventory clearly is different, a lot.

1 ARENDT: But once it's loaded up, there's a certain
2 number of R per hour at a certain distance?

3 JONES: Well, I mean, when we loaded this fuel, you
4 know, we couldn't even--the dose rate on the outside of the
5 cask was about the same, whether it was loaded or empty,
6 because this fuel had such low burnup on it. That wouldn't
7 be the case with high burnup fuel.

8 What I'm saying is, is that the general perspective
9 of the public was that spent fuel was going to come through
10 our community, and, gee, maybe we ought to know a little bit
11 more about it. And I don't think that the difference between
12 Shoreham fuel at low exposure versus something that was at
13 high exposure, I don't think that difference would have
14 caused the general public to say, oh, well, I'm not worried
15 there and I am worried here.

16 ARENDT: You had mentioned cost on dedicated trains and
17 other things. It's my understanding that the latest
18 technology that the railroads have are only advantageous or
19 useful if you use them in dedicated trains; in other words,
20 you can't mix cars. Do you know anything about that?

21 For example, they have a new coupling arrangement
22 that would prevent derailment, and there's some other things.
23 And so I'm just curious that I think there's more than just
24 cost. I think that if, for example, the railroads have
25 technology that would make the transportation safer, then

1 maybe the use of dedicated trains might be worthwhile, just
2 that itself. And I'm wondering what you know about the
3 latest railroad technology.

4 JONES: Well, let me--I don't follow the latest railroad
5 technology that closely, but let me make some personal
6 comments about dedicated trains.

7 Back in the '70s, as you know, there were landmark
8 hearings before the Interstate Commerce Commission because
9 the railroads chose to flag out; that is, they refused to
10 carry spent fuel, or they would carry spent fuel, but only on
11 a special train, and their definition of a special train was
12 like the circus train, that is a train operated at the
13 railroad's convenience, not at the shipper's convenience and
14 moved under rules that were dictated by the railroad. And
15 the railroad's argument was that this was the only way that
16 spent fuel could be moved safely.

17 I was with General Electric at the time, and we and
18 the rest of the industry, plus it was ERDA at that time,
19 essentially went to the ICC and protested the railroads, the
20 argument saying--or our argument was that dedicated train or
21 special train ought to be something that's an option to the
22 shipper, but we certainly were not going to concede anything
23 on the safety question because we were confident, as we are
24 today, that these casks are designed to survive accidents
25 without problems.

1 Now, we can skip forward from the '70s to now, and
2 I still maintain the safety issue, but I can tell you that--
3 and cost is a consideration, I understand. But I can tell
4 you from experience that dedicated train brings a great deal
5 of flexibility. I mean, when you can say, I want a
6 locomotive to show up at 2 o'clock in the morning on
7 Thursday, Christmas Day, or whatever it might be, you can
8 guarantee that. If you try to meet the scheduled regular
9 freight that switches that plant every three days, you may
10 find yourself able--you know, you miss it by one hour, and
11 now you have to wait three days in order to catch the next
12 one.

13 So in other words, there's a tremendous convenience
14 factor that dedicated train brings that regular freight
15 doesn't. And I'm not dismissing the cost, and one has to
16 kind of go through a process of deciding whether the cost of
17 that is worth--a convenience is worth it all.

18 But certainly from an operational perspective,
19 dedicated train makes a lot of sense. Others have also
20 commented that being able to provide the kind of in-transit
21 security, as dictated by Part 73, is significantly easier to
22 do when there's a dedicated train and you can keep the car in
23 observation at all times.

24 Way back when, when we built the IF-300 cask, I
25 actually accompanied it from Denver, where--well, there's

1 four of these. But the first one, when it was constructed, I
2 accompanied it from Denver to Morris, Illinois, the facility,
3 riding right across, the 4th of July, right across the middle
4 of the country, riding in regular freight service. And
5 sometimes we were at the front of the train, and sometimes we
6 were in the middle, and sometimes we were in the back. And,
7 you know, it's not very good duty, and it's slow, and, you
8 know, there's lots of stuff. And it's hard to keep the
9 observation and the car itself always going as a unit when
10 you're in regular freight service because you get switched,
11 and they take cars off, and you know how railroads work.

12 So, you know, I can come up with an awful lot of
13 pluses from an operational convenience perspective for
14 dedicated train. But as I say, I don't believe that it buys
15 any more safety than running regular freight service.

16 ARENDT: Okay. Are there further questions? Staff?

17 All right. Thank you very much, Robert.

18 JONES: Thank you.

19 ARENDT: Our last speaker this afternoon is Richard
20 Guida with the Naval Propulsion Program.

21 And, Richard, you may have some answers to some of
22 the questions--the question or two that was asked previously.
23 For example, I noticed you were nodding your head with
24 Price-Anderson. Thank you.

25 GUIDA: Okay. Thank you. Can you hear all right?

1 Well, thank you very much, sir. It's a pleasure to be here
2 before the Board and the staff to discuss the Navy's
3 practices and efforts in managing spent nuclear fuel and
4 transportation.

5 By way of quick background, let me just explain, my
6 history is 25 years of experience within the Naval Nuclear
7 Propulsion Program, right out of college. I've spent
8 initially eight years working on reactor design, reactor
9 plant design and fuel design and manufacture, and the
10 remaining 17 years spent working on environmental issues.
11 I'm responsible basically for all aspects of the Naval
12 Nuclear Propulsion Programs, environmental efforts, some
13 foreign affairs, and litigation, fortunately or
14 unfortunately.

15 The program is a joint Department of
16 Energy/Department of the Navy effort. By law, we exist in
17 both organizations.

18 Our scope is as follows: Basically, we are 40 per
19 cent of the Navy's principal combatants. I just give this to
20 you by way of background so that you have a perspective, once
21 I start talking about spent fuel in particular, why spent
22 fuel is of such great importance to us, the proper management
23 of it, the proper disposal, transportation and so on.

24 Basically, the Navy's aircraft carrier fleet is
25 more than half nuclear powered, heading towards all nuclear

1 powered fleet. All of our submarines are nuclear powered.
2 We have steamed 112 million miles safety, 4,800 reactor years
3 without a reactor accident. Reactor accident in our
4 terminology means no damage to fuel, no release of fission
5 products. So it's a very conservative definition of what
6 constitutes a reactor accident.

7 Another important element of our business is we
8 have to go into foreign ports, 150 foreign ports in 50
9 foreign countries. We have to be accepted by foreign
10 governments as safe. Our record is scrutinized very closely
11 with respect to that, but we do not give them any of our
12 detailed technical information because we are not interested
13 in having them design their own nuclear-powered warships.

14 Now, let me briefly describe the naval fuel cycle,
15 okay? We have a requirement that once we refuel or defuel a
16 nuclear-powered warship, the fuel is transferred to the Idaho
17 National Engineering and Environmental Laboratory where it is
18 examined. Refuelings, defuelings occur at four naval
19 shipyards and one private shipyard. The four naval
20 shipyards--the standard ones you're probably aware of, Pearl
21 Harbor Naval Shipyard, Puget Sound Naval Shipyard in
22 Bremmerton, Portsneck (phonetic) Naval Shipyard in Kittery,
23 Maine, and Norfolk Naval Shipyard in Portsmouth, Virginia.
24 We did it that way so as to confuse the Soviet Union, and
25 obviously it was successful.

1 We have a goal here of designing fuel with longer
2 lifetime. Okay, our intent is to ensure that we can get
3 every bit of energy possible out of fuel before we have to
4 refuel the ships.

5 Now, for comparison, just to give you a quick
6 picture here, when Nautilus went to sea in 1955, she operated
7 two years on her first reactor fuel load of core--or load of
8 fuel her first core.

9 Our current fuel operates in excess of 20 years.
10 USS Nimitz went to sea, for example, in 1975. She's
11 currently giving sleepless nights, we hope, to Saddam Hussein
12 in the Persian Gulf. She comes in next year for her one and
13 only refueling, first and only refueling in the 50-year life
14 of the ship.

15 Our next generation submarine will operate to the
16 end of the ship's life with one load of fuel.

17 Now, we have been able to achieve this because of
18 the examination that we do on the fuel after service, but
19 that examination serves, as it turns out, multiple purposes.
20 Not only does it give us this ability to ensure we get the
21 longer lifetimes, it also gives us confidence that we know
22 the condition of our fuel very, very well before it is
23 containerized ultimately for dry storage and then ultimately
24 disposed of. So we have an additional piece here that is an
25 artifact of the way we do business.

1 Now, before 1992, our spent fuel was reprocessed.
2 It turns out--and it was reprocessed to recover uranium
3 because we used high and rich uranium for nuclear weapons
4 applications, not nuclear propulsion applications. Basically
5 all of our fuel is virgin material.

6 In 1992, DOE decided to cease reprocessing, and now
7 we store it at INEEL, the Idaho National Engineering and
8 Environmental Laboratory, stored pending its ultimate
9 disposition in a repository or storage--or shipment, I should
10 say, to a centralized storage facility outside of Idaho.

11 Now, let me talk about the amounts. We have very
12 small amounts of naval spent fuel as measured by the Nuclear
13 Waste Policy Act metric, which is metric tons of heavy metal.
14 That is the metric prescribed in the Nuclear Waste Policy
15 Act, which you're well familiar with. Our current inventory
16 is 14 metric tons of heavy metal of naval spent fuel at
17 INEEL. Before reprocessing, a total of five metric tons were
18 reprocessed. So the grand sum generated since 1955 to
19 present is 19 metric tons, of which 14 metric tons remain
20 extant.

21 You know the numbers, obviously, for DOE and for a
22 commercial industry. By 2035, the projected number is 65
23 metric tons of heavy metal.

24 Now, these numbers are a bit misleading, and I
25 wanted to, in the interest of intellectual honesty, give you

1 some additional picture on this. If you were to look at
2 metric tons of total metal--okay, so this would not just
3 count the heavy metal, which is the uranium, plutonium,
4 thorium, but the total metal, our metric tons of total metal
5 by 2035 would be 4,400 metric tons total metal. The reason
6 it is so much is because our fuel, unlike commercial fuel or
7 DOE fuel, basically has a little bit of uranium with a car
8 load of zirconium, of zircaloy. We have a lot of zircaloy
9 structural metal in order to achieve a kind of shock
10 hardness, which I'll describe in a minute, necessary for a
11 maritime military application. What that translates into,
12 then, is a lot of total mass, albeit very little, uranium.
13 And the uranium we have is U235 versus U238.

14 By comparison, as I understand it, the commercial
15 industry, 80,000 metric tons heavy metal number would equate
16 to about 120,000 metric tons total metal, if you add in
17 theirs. They don't need as much zirc because they don't have
18 to meet battle shock conditions.

19 Okay. What is the form of our fuel? Well, the
20 specific form is classified. Certainly, we are more than
21 happy, have already provided it to Mr. Arendt and to Carl
22 Di Bella, Dr. Di Bella on the staff. As other staff members
23 get cleared, we are more than happy to provide all the
24 details of our classified technology to the Board and to the
25 Board staff.

1 But even though the specific form is classified, I
2 can describe certain features of it, which are, in our view,
3 the most important element.

4 First, it is, obviously, solid metallic form. It
5 is not flammable, not explosive. That is true of commercial
6 fuel as well.

7 It is good for combat, battle shock. The battle
8 shock requirement is classified, but the number that we've
9 seen in unclassified studies is well in excess of 50 g's, 50
10 tons of force of gravity. And that is a limit that is
11 premised on the design requirement of no yield in the clad.
12 We do not reach yield in the cladding, okay?

13 We fully contain all fission products. Now, this
14 is a distinction between us and other forms of fuel. All
15 fission products remain in the fuel. Now, that may seem to
16 be a pretty robust statement, and I can assure you it is
17 accurate for a couple of reasons; not only because of our
18 inspections after life will we know exactly what the
19 condition of the fuel is at the end of lifetime, but also
20 because every day on every warship, every reactor plant, we
21 take reactical samples, we analyze those reactical samples on
22 an on-board laboratory in the submarine or the aircraft
23 carrier. We look for any evidence of fission product
24 increase above a very low level that's present from fission
25 products created from a few fission that occur in the

1 cladding. Okay, you tramp your U238 that's present in the
2 cladding.

3 We have the ability to detect down to, you know,
4 literally less than pico curie per liter kind of numbers, and
5 if we see any evidence of an increase, which we have never
6 seen, above this very, very low level of fission products in
7 the coolant, that would indicate a fuel element failure.
8 Never seen it.

9 So we have that kind of very robust data to
10 demonstrate our fuel is, indeed--has the integrity that we
11 are describing.

12 I've already described it operates over 20 years,
13 which means it's safe to store for much longer periods of
14 time. The way we capture this in a qualitative way is we
15 have a statement that says if our fuel is safe, and we
16 believe it is safe, to operate in close proximity to the
17 crew, and I'm talking now within 100 feet of the crew who are
18 living, working, eating, sleeping on a submarine, within a
19 couple hundred feet of the crew on an aircraft carrier, where
20 there are 6,000 people living, working, eating and sleeping
21 on that aircraft carrier, if it's safe in that context in
22 combat, which it is safe in that context in combat, then it
23 is certainly safe to transport shutdown in peace time. So
24 that's the simple sound bite that we try to use.

25 Now, this is a slide that I wanted to spend a

1 minute on because it tells a lot of--it has a lot of
2 information. It's information rich; okay, a picture telling
3 a thousand words, and I'll try to keep this to just 100
4 words.

5 But basically what you see here is the USS Theodore
6 Roosevelt in 1986 receiving a shock test. The shock test
7 that she experienced here was the equivalent of 40,000 pounds
8 of explosives, less than a thousand--fewer than a thousand
9 feet off the Starbird Beam. This caused the ship to
10 experience a shock load that was less than one-third of the
11 ship's design shock. The ship's design shock is a very small
12 fraction of the fuel's design shock. Okay, so this was
13 actually not very severe relative to the fuel, but it was
14 quite a move on the ship.

15 And I was not aboard this particular ship when this
16 shock test happened, but I've been aboard other ships when
17 shock tests have occurred, and unless you brace yourself, I
18 mean truly brace yourself, you will kiss the deck. So you
19 have to be very careful when you run these shocks, you are
20 aiming to try to ensure that you get a full rendering of the
21 test, you get a full--how best to put it--a representative
22 test, albeit not at the full design shock load for the ship,
23 a representative test that will give you useful information.

24 Now, in this particular instance, the reactors were
25 operating when this test went down. There were a number of

1 things on the ship that broke; okay, broke as in the hangar.
2 The hangar bay door suddenly couldn't close. I mean, the
3 ship--this was part of the shakedown for the ship, for this
4 kind of ship. You want to check and see what doesn't work
5 afterwards.

6 The reactors did not scram. The reactors operated
7 normally throughout the test. The propulsion plant performed
8 superbly. So there was no problem with any of the nuclear
9 propulsion aspects as a result of this test.

10 Okay. What is our shipment story? We have made a
11 total of 684 container shipments since 1957, which is when we
12 did the first refueling of the USS Nautilus. All of our
13 shipments are made in Type B containers. Now, they are
14 certified not only to our standards, because as part of the
15 Department of Energy, we have the authority to regulate, to
16 grant the certificate of compliance for purposes of shipment,
17 but they are also certified to NRC standards. Admiral
18 Rickover insisted early in the program--excuse me, in the
19 1950s, that he would ensure that at the time the AEC, Atomic
20 Energy Commission licensing branch, and subsequently the NRC,
21 would give us certificates of compliance for these
22 containers. We were not going to simply do it on our own
23 behalves.

24 So we have always gotten NRC certificates of
25 compliance, and our latest containers are no exceptions to

1 that.

2 The only thing I would point out here is,
3 obviously, there's been a great deal of discussion about what
4 is a drop onto a 30-foot unyielding surface--a 30-foot drop
5 onto an unyielding surface, what is that equivalent to in
6 terms of real impact? What we usually try to do is give
7 people a reference that is more useful for them to appreciate
8 when I give presentations in public. Obviously, this is a
9 very technical group, so you understand this without any
10 trouble. We try to make the argument that this is equivalent
11 to about a 60-foot drop onto a reinforced concrete surface.
12 That's about the same amount of energy absorption within the
13 container to a 30-foot drop onto an unyielding surface.

14 This is the design that--the newest design of our
15 containers that we use. It's called an M-140. I want to
16 give you a couple of facts about the M-140.

17 The shell that you see here, this is a reusable
18 container. Let me emphasize. This is a reusable container.
19 You load the fuel in this at the shipyard. You ship to
20 Idaho, unload it from Idaho to be examined, ultimately
21 stored, the water pit there pending containerization. Then
22 you send this back to the shipyard, and you do it over and
23 over again.

24 We have 24 of these containers. The containers and
25 the railcar on which the containers are loaded--the railcars

1 --come as a matched set. They are four million dollars
2 each. They were designed specifically for naval spent fuel
3 applications.

4 You'll notice this is DODX railcar. That means we
5 own it. We do not rely upon the rolling stock of the
6 railroads. I'll get to this in a minute, but this is a very
7 important feature, which I think contributes greatly to the
8 safety of our shipments.

9 The container itself has a shell 14 inches thick,
10 stainless steel. No lead used in the container. So this
11 container shell is thicker than the battleship--now, that's a
12 lot of steel, but I am not contending it can't be opened by
13 malicious intent. In fact, we will discuss that in just a
14 minute.

15 You will also notice that there are four trucks
16 here, a total of eight axles; a very important point because
17 we have had more than one instance where people have
18 complained to the railroads that we exceed the weight, the
19 allowable weight for railcars. Well, if you took the weight
20 of this container loaded, which is 190 tons, on the railcar,
21 and you divide it by four axles, that's true, we do exceed
22 the loading, specific loading. You divide it by eight axles,
23 which is what we've got, you don't.

24 So it's just one of those little pieces that it's
25 easy for people to misapprehend.

1 Okay. What are our practices? Well, first of all,
2 we escort all of our shipments, have always escorted our
3 shipments since day one. We have more than one escort per
4 shipment. We have 24-hour surveillance of the shipment, of
5 the containers as they are en route. Typically, we have
6 anywhere from a couple of containers to up to six containers
7 per train when we make these shipments.

8 We do limit the speed to 35 miles an hour. Now, I
9 realize that there's a lot of debate that we've already had
10 on discussion on what does that really constitute in the way
11 of an impact on the railroads. Well, let me say that our
12 view of this, which I'll skip down here, we do not require
13 special trains, okay? We do not use special trains normally.
14 There are some exceptions to that, like if we've got some
15 urgent need to get a shipment from Point A to Point B, we
16 might use a special train. Normally, we go in regular
17 commerce.

18 And now I will tell you also that Union Pacific,
19 even though we pay the regular commerce rates, it turns out
20 their practice is to give us a special train because it's
21 easier for them. But we don't pay. We try to do our best to
22 protect the taxpayers' pocketbook here. And the bottom line
23 is we do not require special trains.

24 Now, what does that mean in terms of duration of
25 transit? It does mean the transit is a little bit longer

1 until we get to Union Pacific. Then they take over, and they
2 go faster. It means a little bit longer. Is that a problem
3 for us? Not at all. We've got more than one escort and 24-
4 hour surveillance. They're in a caboose doing this. They
5 have 100 per cent communications capability. It's closely
6 tracked. We track and keep a close tab on the location of
7 the shipment throughout its duration.

8 We do this through the Transportation Safeguards
9 Division out in Albuquerque, the DOE Albuquerque office,
10 because even though the shipment itself is not a classified
11 shipment, it is a shipment of classified material. The fuel
12 form is classified, and it's also high in rich uranium. So
13 what that translates into is safeguards considerations, as
14 well as a need to make sure that we treat it as what's called
15 a national security shipment.

16 Okay. We do not specify our own routes. Whatever
17 the routes the railroads pick, they pick. We pick the
18 railroads, but they pick the routes.

19 Now, the use of government-owned railcars, this is
20 very--this is the thing I alluded to earlier. This is very
21 important because one of the things that we do is we inspect
22 before and after every use. We look for any evidence of
23 wheel bearing deterioration, the brakes are not working or
24 the brakes are deteriorating, and we refurbish. We have the
25 ability to refurbish these railcars, bring them back up to

1 spec, if there is a need to do so.

2 What that means is, in the 684 shipments that we've
3 had, not only have we never had an accident, we've never had
4 a derailment. We've never even had an event or a concern or
5 a problem occur which really imperiled the shipment. And I
6 like to think, I'm not trying to prescribe this as the way
7 that the world should work for, you know, everywhere because
8 clearly this may very well be a bit of overkill, but that's
9 normally what we do for a living is overkill these things.

10 I think that the issue here is that if you know
11 your own railcar--it's like getting your own car, using your
12 own car versus getting a rental. You get the rental, who
13 knows whether they maintained it right, who knows what the
14 last driver did and all that. If you have your own car, you
15 know that it's either you or your spouse, okay, that has
16 dealt with that car, okay?

17 Okay. Now, let me discuss the analyses that have
18 been done here, and there a couple of very important pieces
19 of this; first of all, with respect to the Environmental
20 Impact Statements that the Navy and the Department of Energy
21 have done either together or separately. I have lived
22 through those EISs. I have worked on those EISs and lived
23 them. And what I would commend to the Board's attention is
24 the fact that there is an immense amount of information out
25 there already, some of which was already discussed by Dr.

1 Chen and by Dr. Neuhauser, but let me just say, they lived it
2 with me as we went through this process. There is an immense
3 amount of information already present, and what I would
4 commend to your attention is that that information really
5 warrants its full due.

6 Just to give you a picture, the programmatic spent
7 fuel EIS the DOE and Navy did collectively in 1993, it took
8 two years to get it done, was \$50 million worth of analysis,
9 44 million by DOE, about 6 million--a little over 6 million
10 by us.

11 So that instrument, before one concludes that, gee,
12 there's more paper that needs to be generated here, a new EIS
13 by this organization or that organization, I would earnestly
14 suggest that the full value of those documents needs to be
15 taken into account. I would further suggest that in the case
16 of that document and the subsequent EIS which we performed
17 looking at naval spent fuel shipments from INEEL to a
18 notional repository, none of those EISs has yet been
19 determined by a court to be inadequate.

20 Now, there was one court challenge by the State of
21 Idaho, which in all honesty caused the first EIS to be
22 generated. Okay, give them their due. They caused that
23 first EIS to be generated, but then they settled that case
24 after that EIS was complete, after about a four-month
25 interregnum.

1 A separate lawsuit was filed by an environmental
2 group in Snake River in late 1995, challenging the adequacy
3 of that EIS, has basically not gone anywhere, not gone
4 anywhere in the sense that the plaintiffs have not
5 prosecuted, have not taken it to closure. The courts show no
6 interest in working on it.

7 So, and there's been now lawsuit filed on the Navy
8 EIS that was prepared and published last year.

9 So my point is that if you ask yourself the
10 question in a legal setting, where have the documents that
11 we're talking about here found--where have they been found to
12 be inadequate, to either be inadequate because they were
13 based on the NRC modal study, which is allegedly out of date,
14 or because they contained mathematical errors, or they didn't
15 adequately address the multitude of comments that were
16 received, the answer is nowhere. It hasn't happened.

17 So I think that that's something that, you know,
18 being a government employee, I know how easy it is to simply
19 produce more paper. Heaven knows, you know, swathe, whatever
20 the right word is, in paper. I just want to make sure we use
21 the paper that exists before we create more paper
22 unnecessarily.

23 Now, with respect to these analyses, we looked not
24 only at incident pre-shipments, we looked at potential
25 accidents, as well as terrorist attack. And I just want to

1 take, if I could, a one-minute interregnum and discuss the
2 terrorist piece here because it has been raised in earlier
3 discussions.

4 One of the things that we have the benefit of being
5 able to do that others do not have, sometimes others do not
6 have, is we can go to our sister agency, sister service, the
7 Army, and talk to them on a classified and unclassified level
8 about what does it take to penetrate armor. They are
9 obviously the experts in this matter. They build the tanks,
10 and they want to destroy tanks.

11 Elmer Naples, who is my senior program manager here
12 on this issue, and I visited the Piccatin Arsenal last year
13 and had a detailed discussion on a classified level with the
14 Army experts who are designing the next generation of anti-
15 tank weapons, who are intimately knowledgeable of the
16 existing generation of Army anti-tank weapons and could speak
17 knowledgeably on how anti-tank weapons work.

18 Well, let me say, first of all, that there are a
19 couple of types of weapons. One is the kinetic projectile,
20 you know, which is like the depleted uranium shell. You
21 can't use that unless you have a tank canon to shoot it. So,
22 obviously, that's not very attractive for a terrorist.

23 The more likely used weapon that a terrorist would
24 use is what's called a high explicit anti-tank weapon or a
25 shaped charge. This is the business end of a three-inch

1 diameter, about three or four inches--I guess three-inch
2 diameter shaped charge, minus the explosive, minus the
3 propellant, a few other things, okay? But this is basically
4 the business end. And if you put the explosive here, what
5 you've got here is like a copper cone. The explosive blows
6 up, causes shock waves in the copper cone, and shoots that
7 copper out like a jet at about 10,000 degrees kelvin and your
8 target.

9 Now, you look at that and say, okay, that's three-
10 inch diameter, so it must punch a three-inch diameter hole in
11 the target, right? Not even close. If you look at this
12 here, this shows the penetration--and I invite you at some
13 later time to come up and take a look--this shows the
14 penetration of many, many--about two feet I guess here of
15 armor plate of this shaped charge weapon. And what you find
16 out is that at the very end, at the depth basically where you
17 would be looking at it, if you had a 14-inch container like
18 we've got, that's the diameter of the hole that is created.
19 It's basically 1/10th the diameter of the weapon or 1/100th
20 the surface area. That's point one.

21 Point two is, if you look at this further, you will
22 notice that on the entrance part of the hole, there is a
23 copper afterbirth. Part of the copper that is shown there
24 ablates. It does not fully penetrate. What happens is, the
25 copper plugs the hole, okay? This is what you expect. This

1 is exactly what you would expect. So if a terrorist were to
2 fire one of these weapons at a container loaded with spent
3 fuel that is just a bunch of metal, it's not full of
4 explosive itself, you would get a hole that would either seal
5 itself or at worst, would be very small in diameter.

6 Now, the final point that I would make on this is
7 that you all, obviously, have seen pictures of Iraqi tanks
8 blowing up when these types of weapons are shot at them. The
9 distinction there--at the risk of stating the obvious, let me
10 just state it. The distinction there is that if you fire one
11 of these weapons at an Iraqi tank, or at a tank, and you hit
12 the turret, and you inject the molten metal into where the
13 munitions are, where the explosives are in the turret, then
14 yes, indeed, the thing is going to blow up. But you don't
15 have--you know, I don't think we ship spent fuel, I know we
16 certainly don't, I'm sure the commercial industry doesn't,
17 with explosive charges inside the container. That would not
18 be too smart.

19 Okay. Now, what kind of analyses did we do here
20 for routine transportation, as well as for accident
21 conditions? We used basically the technology, or the
22 techniques I should say, that Dr. Chen and Dr. Neuhauser so
23 well described, RADTRAN, RISKIND and all. We analyzed a
24 couple of different things. We looked at the container
25 shipments that were made prior to 1995 and then the container

1 shipments projected from 1995 forward in two categories,
2 those that are coming from the shipyards to INEEL, those that
3 would ultimately go from INEEL to a repository.

4 Now, these are the results, and I want to just
5 spend just a minute talking about these results because they
6 really are, in our view, very robust results.

7 For incident-free shipment, for shipments to INEEL
8 over a 40-year period of time, the total person rem exposure
9 was about 2 rem. So that means that there is one chance in a
10 thousand of a single latent cancer fatality among eight
11 million people along the transportation corridors in a 40-
12 year period of time. It's not once chance of a thousand per
13 person, it's one chance in a thousand of one latent cancer
14 fatality among eight million people in 40 years, okay?

15 Now, if you ask yourself what is the risk of
16 somebody being killed as a consequence of being run over,
17 that risk is several orders of magnitude, three to four
18 orders of magnitude higher than this risk. In other words,
19 there is a fair likelihood that somebody is going to get run
20 over by those trains in that period of time, around three to
21 four orders of magnitude higher.

22 Now, for a severe accident, the risks are even
23 lower, and the reason the risks are lower is because even
24 though the accident event will have a higher consequence, the
25 probability of the accident, obviously, is lower.

1 And what we looked at here were several things. We
2 looked at accidents involving penetration of the container,
3 not just by a terrorist weapon like this, but penetration of
4 the container by some other kind of a missile, some type of
5 an airplane crashing, whatever. We looked at accident
6 scenarios where the container was penetrated, and 10 per cent
7 of the fuel inside the container was made available for
8 release. You can see the risks are extraordinarily small
9 even in that circumstance.

10 Now, there lies an important point. Let me say
11 that I'm wrong. Let's say that at the risk of conceding a
12 point to our critics, which I'm not willing to concede, but
13 let's just say that, hey, 100 per cent of the contents are
14 eligible for release. Everything comes out. Say I'm off by
15 a factor of a thousand. Well, then I have a number of say 1
16 chance in 25 instead of 1 chance in 25,000 of a single latent
17 cancer fatality among eight million people in 40 years.

18 My point is that the risks remain negligible, even
19 if I assume situations that my critics will never be able to
20 prove are realistic.

21 Finally, the final slide. This is a summary of the
22 transportation discussion for shipments from INEEL to a
23 repository. Now, I would point something out. You notice
24 that, gee, we're down now--now down to a chance of 1 in a 100
25 of a latent cancer fatality, whereas it was a chance of 1 in

1 a 1,000 at a population smaller here than it was in the other
2 case. Does that mean that for some reason, these shipments
3 are riskier than the shipments that we made to INEEL? The
4 answer is no. This is an artifact of the calculation. Let
5 me explain what I mean.

6 The shipments to INEEL, we use our M-140
7 containers. We know exactly what the radiation field is.
8 The dose rate is external to the container. The requirement,
9 as you know, under DOT regulations is 10 millirem per hour at
10 2 meters, okay? We meet that standard, that requirement, by
11 factor of 100. Typically, our radiation doses are 1/10 of a
12 millirem per hour at 2 meters. So we actually use real data
13 because we have real data with M-140s loaded with fuel. We
14 have been doing it, you know, for many, many years.

15 For this analysis, because we do not yet have a
16 container design, we are in the process of designing the
17 container, we assumed that we would be at the regulatory
18 limit; that is, 10 millirem per hour at 2 meters, okay? That
19 explains why this is a higher number. Do I expect we're
20 going to be at 10 millirem per hour at 2 meters? Not on my
21 watch. I guarantee you we will ensure we're down probably
22 around 1 to 10 per cent, like the other containers, which
23 will make those numbers commensurately come down as well.

24 So in a nutshell, those are the results. I would
25 again emphasize that they have undergone the NEPA scrutiny,

1 the process of scrutiny under NEPA. They have undergone
2 technical scrutiny by federal agencies. And we're willing to
3 stand behind those numbers, and, frankly, I have yet to have
4 anybody point a hole in those numbers, any of our critics
5 say, well, you forgot to divide when you should have
6 multiplied, your conversion factors are hosed up; you know,
7 you assumed that you were shipping by aircraft carrier, or
8 something like that. Nothing, there is no criticism that
9 we're aware of in any of the documentation that has any merit
10 in that respect.

11 Okay. That's it. I thank you very much for your
12 attention, and I'm happy to answer any questions, or will try
13 to answer any questions you might have.

14 ARENDT: Questions?

15 KNOPMAN: Well, since you were nodding your head about--

16 GUIDA: Yes, ma'am.

17 KNOPMAN: --the Price-Anderson issue, maybe you could
18 enlighten us a little bit about how it works. Is there a
19 floor, as well as a ceiling, on liability coverage?

20 GUIDA: Let me describe the way Price-Anderson works as
21 a client. I can not describe it as an attorney, although I
22 have some attorneys with me here who can probably--I'm sure
23 can do justice to it better than I can.

24 Basically the way it works is that Price-Anderson
25 indemnifies--has the government indemnify a company, whether

1 it's a transport company like a railroad, or whether it is a
2 private company like Westinghouse, whatever, indemnify a
3 company so that if they were to get a third-party claim,
4 somebody who's injured as a consequence of transportation, a
5 reactor accident, whatever, has to be related to the
6 radiological aspects of byproduct material, okay, i.e.,
7 radiation from byproduct material. If they are affected by a
8 nuclear incident under the Price-Anderson Act definition,
9 which would be an accident, then that person can file a torte
10 claim against Company X.

11 And Company X, then, invokes the indemnity
12 provision that they've been given with the government, and
13 the government then--what will usually happen, and I've been
14 through this a few times, not involving transportation
15 accidents, but involving accusations of, for example,
16 shipyard workers who claim they were injured, got cancer as a
17 consequence of radiation exposure. They filed suit against
18 the shipyard, sometimes under workmen's comp, sometimes not.
19 Then the shipyard comes to the government. The government
20 winds up--because of the indemnity extended to the shipyard,
21 the government winds up assuming the defense because since
22 we're ultimately going to pay, we wind up defending the case,
23 even though the suit was not originally against the
24 government per se.

25 Now, the way it works is that the government

1 usually requires the company to maintain a certain modest
2 amount of insurance themselves to deal with what you might
3 characterize as nuisance suits. That can range anywhere from
4 a couple million dollars of insurance up to, you know,
5 several tens of millions of dollars. If the claim is in
6 excess of that, and usually the claims are in excess of that,
7 then the delta between what the private insurer, you know, is
8 going to pay versus what the government paid kicks in, and
9 the government steps in.

10 Now, there are a couple of exceptions in the Price-
11 Anderson law. I will have to get you the specifics, but my
12 recollection is war and civil insurrection are examples of
13 exceptions where there would not be payments made in those
14 cases. But war and civil insurrection are not very--they're
15 very difficult things to prove. You know, a terrorist attack
16 is not civil insurrection. Civil insurrection is the loss of
17 the force of law, basically, you know, where you've got the
18 vigilantes doing things and all the rest.

19 So in the cases I've been involved in, in my last
20 17 years of working on this, there have probably been about
21 half a dozen Price-Anderson tort claim lawsuits against
22 companies, which then we wound up being the defense on. We
23 have never lost--never lost a case, and that's on the merits.

24 Now, one of the things about Price-Anderson which
25 is very helpful is, Price-Anderson creates, or employs a

1 doctrine of strict liability, which means that you do not
2 have to demonstrate that what you're dealing with is
3 dangerous. That's taken as a given. What you now have to
4 demonstrate is, however, that your injury was caused by the
5 thing that was dangerous. That is your threshold test. So
6 it's very good in that respect.

7 Now, in terms of amounts, my recollection is that
8 the government is liable for the same amount in the event of
9 an incident that the commercial industry is liable for,
10 although we don't--it's not paid in the same way. In other
11 words, the commercial industry is liable in the event of an
12 accident by virtue of the money they paid into a fund over
13 the years, and I think it's like seven or eight billion
14 dollars at this point, is the limit of liability. The
15 government is subject to that same limit of liability, but
16 even there, the Price-Anderson law says that once you reach
17 that point, liability isn't really tapped--or capped rather.
18 Instead, then you have to go to Congress, and Congress will
19 decide whether more funding, whether government funds should
20 be made available for purposes of making people whole in the
21 event of an accident.

22 Does that--

23 KNOPMAN: Yes, that's excellent. But the bottom line is
24 there's no private insurance here beyond the--you said, a few
25 tens of billions, probably.

1 GUIDA: That's correct.

2 KNOPMAN: And then once--

3 GUIDA: I'd have to--yes, ma'am.

4 KNOPMAN: --you're above whatever that threshold is--

5 GUIDA: Price-Anderson kicks in, yes, ma'am.

6 KNOPMAN: Price-Anderson, okay.

7 ARENDT: Other questions?

8 Richard, you've got a flight.

9 GUIDA: I know. It's my pleasure to be here, sir.

10 Thank you.

11 ARENDT: We thank you very much.

12 GUIDA: Thank you. And again, I invite you all, as time

13 permits, please come up and take a look at the hardware, if

14 you would.

15 ARENDT: This closes our session for this afternoon.

16 There were no registrants to make comments, and so we're

17 dismissed until tomorrow morning at 8:30 a.m. I thank you

18 all for coming.

19 (Whereupon, the proceedings were adjourned, to

20 reconvene at 8:30 a.m. on Thursday, November 20, 1997.)

21

22

23

24

25

1

2

3

4