

UNITED STATES
NUCLEAR WASTE TECHNICAL REVIEW BOARD

MEETING OF THE PANEL ON THE WASTE MANAGEMENT SYSTEM
SPENT FUEL TRANSPORTATION SAFETY

November 20, 1997

Sheraton National Hotel
Arlington, Virginia

BOARD MEMBERS PRESENT

John Arendt, Panel Chair
Dr. Daniel Bullen
Dr. Norm Christensen
Dr. Paul Craig
Dr. Jeffrey Wong

CONSULTANTS

Ronald B. Pope, Oak Ridge National Laboratory

NWTRB STAFF

Dr. William Barnard, Executive Director
Sherwood Chu, Senior Professional Staff
Dr. Daniel Metlay, Senior Professional Staff
Michael Carroll, Director of Administration
Linda Hiatt, Management Assistant
Davonya Barnes, Staff Assistant

I N D E X

	<u>PAGE NO.</u>
Reconvene/Introductory Remarks	
John Arendt, Panel Chair, NWTRB	244
Opening Statements from additional round-table participants	
Dwight Shelor, DOE.	245
Robert Halstead, State of Nevada.	248
Robert Van Namen, Duke Power.	256
Robert Fronczak, Association of American Railroads.	259
Fred Millar, Nuclear Waste Citizens Coalition	264
Round-Table Discussion.	272
Public Comment.	350
Meeting Adjourned	371

P R O C E E D I N G S

(8:30 a.m.)

1
2
3 ARENDT: We've got a very busy morning and we need to
4 get started. Good morning. Welcome back.

5 Yesterday, we had a day of formal presentations.
6 Today is going to be a good deal more informal. It will
7 consist primarily of a round-table discussion of the issues
8 discussed yesterday.

9 In addition to the speakers from yesterday, we will
10 be joined by five new participants. The five new
11 participants are Dwight Shelor, Bob Halstead, Robert Van
12 Namen, Robert Fronczak, and Fred Millar. We're going to
13 begin with an opening statement of not more than 10 minutes
14 from each of these participants.

15 Before we begin, I'd like to remind you that we
16 will again have a period for public comment at the end of the
17 session at about 11:30. If you wish to comment during either
18 of these times, please sign up at the registration table in
19 the back and we'll call on you at the appropriate time. I
20 think yesterday there was a little misunderstanding and the
21 wrong sheet got signed and I didn't realize that someone had
22 signed up, but the sheet that people were supposed to sign up
23 for for comment was--there wasn't anybody signed up, but the
24 person actually signed the wrong sheet. So, please, make
25 sure if you sign the right sheet if you want to make a
26 comment after the period. We consider these comments to be
27 very important. So, we want to hear from you.

28 The first speaker this morning is Dwight Shelor.
29 He's the deputy associate director for waste acceptance
30 storage and transportation in the Office of Civilian
31 Radioactive Waste Management at DOE. Dwight?

32 SHELOR: Thank you, John, and good morning.

33 In my opening statement today, I'll briefly cover
34 three topics. One is our mission objectives and a very brief
35 status of where we are in some of the legislation and
36 litigation. I'll also talk about our waste acceptance
37 activities and, finally, with the transportation planning
38 activities that we currently have going on.

39 Just to remind you, our mission objectives in the
40 Office of waste acceptance, storage, and transportation are
41 (1) develop a market driven strategy that relies on the
42 private sector for waste acceptance and transportation
43 services; (2) to develop a non-site specific design and
44 licensing strategy for an interim storage facility; and (3)
45 to maintain and manage the disposal contracts that we have
46 with the owners of the generators of spent nuclear fuel and
47 high-level waste.

48 As you know, the House and the Senate have passed

1 bills that would provide a site for an interim storage
2 facility and requires to begin spent nuclear fuel acceptance
3 in the time period 2002 to 2003. The Congress has now
4 adjourned until late January. After they've reassembled, a
5 conference committee will be appointed to work out the
6 differences in these bills.

7 During the debate on these bills, the
8 Administration has reaffirmed the Federal Government's long-
9 standing commitment to permanent geologic disposal and that
10 geologic disposal should remain the basic goal of high-level
11 waste management policy. The Administration opposes siting
12 an interim storage facility near Yucca Mountain before the
13 viability assessment has been completed. The Administration
14 believed that a decision on the siting of an interim storage
15 facility should be based on objective science-based criteria,
16 and it should be informed by the viability assessment. The
17 President has stated that he would veto either bill if
18 presented in their current form.

19 In regard to waste acceptance activities, the Court
20 issued its decision last Friday on petitioners' request that
21 the Court rule that the 1998 waste acceptance date is a
22 statutory requirement and not a contractual requirement. In
23 this decision, the Court determined that the 1998 waste
24 acceptance date was a contractual requirement and the delay
25 and disputes provisions that exist in the contracts are
26 appropriate for use in this case. However, the Court will
27 not allow us to claim that any delays in waste acceptance
28 were unavoidable. We're now in the process of working with
29 our general counsel to determine the proper response to this
30 Court decision.

31 Finally, with respect to transportation planning
32 activities, I will provide you with an update on the Draft
33 RFP for waste acceptance and transportation services and the
34 proposed policies and procedures to provide funds and
35 technical assistance to States and Tribes for training public
36 safety officials and safe routine transportation and
37 emergency response. This is in accord with Section 180-C of
38 the Nuclear Waste Policy Act.

39 With respect to the Draft RFP, we received
40 approximately 1,000 comments from about 60 responders on the
41 Draft RFP for transportation services issued last December.
42 We have considered these comments and have prepared a revised
43 Draft RFP. We plan to issue the revised Draft RFP in the
44 next few weeks.

45 In the statement for work for transportation
46 services, we will require the regional servicing contractors
47 to comply with all applicable Federal, State, and local laws
48 and regulations. This includes strict compliance with DOT

1 and NRC regulations with three exceptions. We're currently
2 seeking agreement with the NRC for us to provide
3 notifications or shipment notification to Tribes in addition
4 to the States. The current regulations only require that the
5 States be notified. And, also, to provide States and Tribes
6 with appropriate information that we would receive from
7 continuous satellite tracking systems on the shipments. In
8 addition, we're requiring the contractors to use the
9 commercial vehicle safety alliance inspection procedures on
10 any and all trucks that would take place. At this time, I
11 will defer any discussion of the proposed policy and
12 procedures to implement Section 180-C except to say that we
13 expect to issue the final policy and procedures in the spring
14 of next year.

15 In conclusion, I believe that compliance with the
16 DOT and NRC regulations provide for safe spent nuclear fuel
17 transportation and the protection of the public health and
18 safety. Further, I believe that consideration of any expert
19 regulatory requirements should show a significant benefit to
20 the nation as compared to its cost. This is especially true
21 in this program considering the fact that we have a
22 significant scope and the duration will be for the next two
23 or three or four decades as we anticipate in this program.

24 Thank you very much.

25 ARENDT: Thank you, Dwight.

26 Our next speaker will be Bob Halstead representing
27 the State of Nevada.

28 HALSTEAD: I promised I wouldn't do this, but it would
29 probably be easier if I put on an overhead some opening
30 comments. I probably will use my 10 minutes, Mr. Chairman.
31 I have a handout that has a number of remarks on it. I'm not
32 going to stick strictly to that because I think the
33 discussion yesterday generated a lot of ideas that I would
34 like to start off by instead of ending up with and review of
35 recommendations that the State of Nevada has made on
36 transportation risk management. I'll run through these and
37 then, I think, the things I'll say afterwards will help flesh
38 them out.

39 First of all, I'm going to start with #9 down here
40 and that is regardless of what form of privatization the DOE
41 decides to follow, it's very important that someone--and we
42 think it ought to be DOE--is responsible for making program
43 decisions and that those decisions aren't delegated to
44 contractors and specifically that they're not delegated to
45 regional servicing agents or the people who are actually
46 carrying out a program.

47 Secondly, going back to #1, we believe in a
48 comprehensive risk management approach that begins with a

1 comprehensive risk assessment, but continues past the
2 preparation of the EIS for the life of operations of the
3 facility. I think it's very important that there's a
4 continuous feedback of post-operations audits to maintain the
5 level of discipline that will be necessary to both prevent
6 accidents and assure the public of the safety of the
7 transportation system.

8 Point number two, ship oldest fuel first. You
9 know, I haven't said this for about five years because it's
10 been kind of a given that that would be the approach that the
11 program would follow. But, it's not so clear under the terms
12 of the RFP that's been out for a market-driven strategy and,
13 in fact, the possibility that utilities might trade their
14 spots in the queue under these contracts and end up shipping
15 younger, more radioactive, as opposed to older fuel, early in
16 the campaign is a concern. And, right here, it's important
17 to remember we're talking about dangerous goods. Spent fuel
18 and high-level wastes are a significant potential hazard.
19 The good thing about them is that the fission product
20 inventory has a relatively short half-life. If you're
21 shipping 20-year fuel, the radiological characteristics are
22 considerably easier to deal with than 5-year-old fuel.

23 Third, maximum use of rail. It's been our
24 recommendation for 10 years. And, use of dedicated trains
25 also has been our recommendation for about 10 years. A more
26 recent recommendation, apply the lessons learned from the
27 safety planning that's been done for the WIPP transportation
28 program which, as most of you know, is right now being
29 planned as a 100 percent truck shipment campaign. It is
30 considering rail shipment. But, this is probably the most
31 comprehensive program of stakeholder interaction with DOE to
32 develop mutually agreed-upon safety protocols for accident
33 prevention, as well as for emergency response. That's the
34 model that we think DOE's Civilian High-Level Waste Program
35 should follow.

36 Early designation of routes is another key program
37 decision. DOE needs to be formally designating the routes
38 after full discussions with all the affected stakeholders,
39 particular the States and Indian Tribes who have legal
40 jurisdiction, but certainly also taking into account the
41 considerations of the customers of their service and the
42 carriers that are going to be carrying their high-level
43 waste.

44 Full-scale testing, yes, it's expensive. We still
45 believe it's a good idea. To answer Dwight's concern, our
46 latest cost projection which is still about two months away
47 from being final says that the total life cycle
48 transportation cost of this program is likely to be in excess

1 of \$3 billion current year dollars; maybe as high as 3-1/2
2 billion depending on choices that are made about constructing
3 a rail spur or building an intermodal transfer facility and
4 upgrading the loads.

5 The long and short of it is it seems to us that
6 spending \$10 million to do full-scale testing--this would be
7 regulatory compliance testing, not public relations testing--
8 would be money well spent. And, the example we would show is
9 the way that that testing in the WIPP program of the TRUPAC
10 packages has made it politically possible for western
11 Governors who don't normally have a lot of good feelings
12 towards the Department of Energy to work mutually with them
13 in developing the transportation system for WIPP.
14 Stakeholder involvement is imperative.

15 With that, I'll turn this off. If we go to the
16 second page of the handout, I've listed five State of Nevada-
17 -critical review of probabilistic risk assessment, the modal
18 study, and RADTRAN and, obviously, I don't have time to go
19 into them in detail. I believe that Lindsey Augin's critique
20 of the modal study is still valid seven years later. I think
21 particularly the criticism of the modal study's use of string
22 on the cask shell is the primary variable to define damages
23 correct. His concerns about the limited data on the
24 probability of certain accident conditions is correct. The
25 questionable assumptions about spent fuel damage as opposed
26 to cask damage in accidents is also correct. I also believe
27 that the observations he made about the limited applicability
28 of the modal study to future systems because of significant
29 differences in cask designs, capacities, and materials,
30 changes in the modal mix and the average shipment speed, the
31 higher SNF burnup rates and the implications of long-term dry
32 storage are also valid. There have also been some actual
33 accidents since the 1980s that appear to exceed the
34 regulatory accident conditions or either accidents not
35 addressed in the modal study, but the key issue is the
36 failure admitted by the authors to consider fully the impacts
37 of human error.

38 Regarding RADTRAN, I'm one of those people who has
39 been engaged for almost 20 years now in dialogue with Sandia.
40 I give them high marks for responding to stakeholder needs
41 and criticisms. The current version of RADTRAN is not only
42 an extremely useful tool for comparative risk assessments, I
43 would argue it is the tool of choice. Nonetheless, I still
44 believe that there are concerns when the accident risk
45 outputs from RADTRAN are given in the way that gives a false
46 sense of precision about our ability to quantify severe
47 accident risks, and it also must be noted that the routine
48 radiological risk outputs do not always--and perhaps it's

1 unreasonable even to expect them to always--accurately
2 capture unique local conditions, particularly as those would
3 result in exposures to residents along routes, frequency of
4 gridlock situations, and so forth.

5 The studies that I've cited for you address the
6 need to focus on human factors, individual and organizational
7 behavior, and to avoid what Professor Freudenburg has called
8 the atrophy of organizational vigilance. It is very
9 important that we not succumb to the Exxon Valdez syndrome
10 where a catastrophe occurs after 12 years of uneventful
11 operation and 8,000 safe shipments. When human error
12 triggers a catastrophe, that is exacerbated because the
13 previously in-place accident prevention measures have been
14 cut back for budgetary reasons and where, indeed, the Alyeska
15 Emergency Response Team had been disbanded years before that
16 incident occurred because the safety record led people to
17 believe that it was not needed.

18 Now, I have just two minutes to wrap up. I've
19 provided you with some information on past and future
20 shipment characteristics. The point I would make is that the
21 future shipments are going to be very significantly different
22 from past differences. That means that we cannot be
23 complacent about the past safety record which has been very
24 good in avoiding catastrophic accidents, but has frankly been
25 only average in terms of an accident rate compared to
26 shipment miles.

27 In my summary of the safety record, I've only
28 projected these accident rates into the future to argue that
29 if an improvement in the accident rate of future shipments
30 isn't made, the number of accidents would be technically and
31 politically unacceptable. Now, I'm not saying that I expect
32 severe accidents involving releases to occur. I'm saying I
33 think it's unreasonable to assume that there won't be
34 accidents, but even minor accidents are going to receive a
35 lot of attention in the media and they're going to be very
36 controversial. So, it's very important for the credibility
37 of the program to make reduction of accidents a key program.
38 And, that should be addressed to contracting. The RFP
39 process should reward operators that don't have accidents and
40 punish the ones who do.

41 Finally, my last 30 seconds, I think it's generally
42 known here that the State of Nevada has finished a new
43 assessment of the consequences of terrorist attacks. This is
44 not the appropriate place to have a detailed discussion of
45 this. We intend to discuss these issues with the NRC very
46 shortly. I would hope that you will invite us back at some
47 future date for a more involved discussion. I would say on
48 the one hand, I agree with pretty much everything that

1 Richard Guida said about the relative invulnerability of the
2 Naval spent fuel casks to a cask with high energy explosives,
3 but I also have to state adamantly that we believe it's a
4 very different situation with the new cask designs, the new
5 high-capacity cask designs that are being developed for the
6 civilian program. I think there are some legitimate concerns
7 there about releases possibly in excess of 1 percent with
8 respirable aerosol fractions much larger than originally
9 calculated back in the 1980s.

10 And, with that, I'd like to say I thank you very
11 much for the opportunity to be here.

12 ARENDT: Thank you, Bob.

13 Our next speaker is Robert Van Namen from Duke
14 Power. Robert is manager of the nuclear fuel management.

15 VAN NAMEN: Thank you. I'd like to thank the Board for
16 the opportunity to come and address you today.

17 I am a little bit cowed by the experience that has
18 been preceding me in this discussion. I think that you have
19 heard from a lot of people who have a very strong technical
20 background and these are the people who you should be relying
21 on for your judgments about the program, and I encourage you
22 to continue with that.

23 What I would like to do is to focus more on the
24 opinions of a user, of a potential future user of the
25 transportation infrastructure and talk a little bit about our
26 perceptions of where things are going and our need for
27 action.

28 Duke Power has seven nuclear reactors; four
29 Westinghouse units and three Babcock & Wilcox units. We have
30 experience in dry storage. We have the NUHOMS system
31 deployed at Oconee Nuclear Station. We are coming up on the
32 deployment of dry storage at the McGuire Nuclear Station
33 within the next several years. For this reason, I would like
34 to encourage us as a collective group to do everything we can
35 to get the foundation established for both the transportation
36 and storage infrastructure and make sure that we're ready as
37 Duke Power and as an industry as a whole to make the proper
38 decisions about what technology we deploy.

39 We're facing a decision at McGuire. As Mr.
40 Haughney said, he's got a variety of applications in front of
41 him which do combine both transportation and storage
42 technologies. Trying to make a decision right now for which
43 technology to go with is somewhat difficult given the
44 uncertainty and the licensing process and our need to deploy
45 to provide relief for our reactors. So, I think that it is
46 in everyone's best interests to have both the transportation
47 and storage covered by one canister system, and I hope that
48 we'll be able to establish what we need to do to get those

1 decisions made, the transportation requirements laid out, and
2 to get those systems licensed as quickly as possible.

3 I'm not going to go back over what was discussed
4 yesterday in terms of the track record except just to
5 emphasize a couple of points. We have been transporting
6 spent nuclear fuel for 40 years. We have done it in Duke
7 Power with transshipments from our Oconee Nuclear Station to
8 McGuire. We transhipped 300 assemblies in the 1980s in a
9 very successful, smooth-running program. Not only can we
10 rely on the experience and the track record of the U.S.
11 program, but we can also rely on the experience of the
12 Europeans as they tranship nuclear fuel on a much higher
13 level than what we are doing in the United States currently.
14 Basically, the track record is outstanding, and I think that
15 we can look forward to that continuing into the future.

16 I would like to echo the comments of Robert Jones
17 yesterday as he talked about the Shoreham experience. I
18 think he brought up a lot of very relevant points that I
19 think that the Board should pay attention to. I think that I
20 can attest to the need for the advanced planning for the
21 close coordination with the officials for the full knowledge
22 of the regulations and the accurate implementation of these
23 regulations. However, I will also attest to his comment that
24 it was a very straightforward simple to execute process given
25 the proper planning was put into place. I think our
26 experience at McGuire showed transportation is not that big
27 of deal and it's something that we really can do without a
28 great deal of tie-up or problems.

29 What I would like to leave you with is the fact
30 that I believe that transportation is something that we know
31 a great deal about. It's something that deserves close
32 attention. It deserves paying attention to the regulations
33 that have been put in place by the Department of
34 Transportation and the Nuclear Regulatory Commission, and it
35 deserves listening to the people who know the facts. I think
36 that's what's important to make the program work. We have
37 been doing it currently or we have been doing it in the past
38 and doing it quite successfully. All I would ask is let's
39 get on with it and start moving nuclear fuel.

40 Thank you for your attention.

41 ARENDT: Thank you very much.

42 Our next speaker is Robert Fronczak from the
43 Association of American Railroads. Robert is assistant vice-
44 president for environment and hazardous material.

45 FRONCZAK: Good morning.

46 What I plan on talking about today, you heard I
47 guess substantively in Pahrump last January. What I would
48 like to do is clarify some statements made yesterday,

1 perhaps. We represent 73 percent of the freight railroad
2 mileage in the U.S., 89 percent of the employees, and 91
3 percent of the revenue in the U.S., and all the major rail
4 carriers that would potentially be transporting spent fuel.
5 I want to quickly cover objectives, background, and a risk
6 management approach and then quickly conclude.

7 What our objectives are is a safe, efficient,
8 integrated rail transportation system for spent nuclear fuel.
9 I believe firmly that it's safe today. I think we need to
10 make it efficient in the future. We believe that the way to
11 do that is a dedicated cask car train system which insures
12 cask integrity in the railroad operating environment at
13 timetable speeds with no restrictions on meets or passes.

14 To give you a little idea on the perspective on
15 this, we heard a lot of estimates of how much would be
16 transported by rail. Some of the estimates are up to 90
17 percent. today, I think, maybe we handle five to 10
18 shipments or carloads a year and that will increase to 250 to
19 450 casks per year. What does that mean to our business? If
20 you look at carloads by commodity, coal is our largest
21 commodity at 27.9 percent. Spent fuel at 400 asks per year
22 is .0017 percent of all carload business.

23 And, of course, there's a premium for handling
24 hazardous materials. If you look at revenue by commodity in
25 1996, coal was our largest at 22.5 percent. Chemicals jumps
26 up to second at 15.3. If you use Three Mile Island shipping
27 rates and shipping rates have actually gone down since then
28 and I think about a 2,000 mile round trip, you're looking at
29 .068 percent of our revenue would be spent fuel shipments;
30 so, a very small part of our business. And, yet, we feel it
31 would have significant potential to impact our business.

32 To approach and incident free transportation, we
33 feel like the system needs to be treated as a system
34 including the cask, cask and a car together, and the train.
35 We feel that the car needs to reflect high design principals.
36 We need to limit the probability of a derailment. Now,
37 whereas the likelihood of a release in a derailment we feel
38 is very small, we feel that any derailment is going to be a
39 major incident and have the potential to disrupt our
40 business. So, we want to avoid that to the degree we know we
41 can. We'd like to limit the damage to the cask. We feel
42 that there may be some things we can do to the cask car
43 design to do that. We feel that there's a sufficient number
44 of cars that are going to be demanded to create a small fleet
45 of vehicles similar to what the Navy talked about yesterday.

46 We feel that we can limit the possibility of a
47 derailment by selecting optimal suspension components. We've
48 done a lot of research on heavy axle load suspensions and

1 we're limiting the load range. Now, in this case, we feel
2 that that's not a possibility. DOE for years now has been
3 talking about 125 tons and the MPC, for instance, I think was
4 approaching 400,000 pounds gross railroad. So, I think
5 that's the nature of the beast.

6 One thing I would caution you on is the Navy folks
7 talked about the M-140 yesterday, and I think they implied
8 that an eight axle span car weighing over a half a million
9 pounds was standard. That's not. That car cannot be
10 transported in free interchange. It has to be interchanged
11 through agreement by the carriers. They have to look at
12 their infrastructure to see if they can handle that car.
13 We'd also like the car designed for known derailment modes.
14 I think, Bob Jones mentioned Chapter 11 testing. Those are
15 AAR rules. Any new car would have to be designed to meet
16 those tests and, again, the Navy talked about program
17 maintenance for a dedicated fleet of cars. I've already
18 talked about that.

19 We think there are some things that can be done to
20 minimize damage to the cask. We feel that a risk management
21 approach ought to be incorporated for a dedicated train
22 system. Once again, it minimizes any sort of weak link
23 problem. You've got 40 or 50 year railroad equipment
24 transporting in normal commerce today. We feel that this
25 ought to be maintained to a higher standard. It also
26 minimizes train handling forces. One of the things that is
27 very important is that this is a very heavy load. A typical
28 freight car weighs 100 tons. Gross weight on rail is 263,000
29 pounds. We're talking about a 400,000 pound load here. That
30 is not well-mixed in with very light loads. So, we want that
31 in a dedicated train.

32 One of the things that the Navy mentioned yesterday
33 is that UP handles their car and dedicated freight for
34 convenience purposes. They actually handle it because they
35 feel that putting it at the end of regular trains is not a
36 good idea because you have an accordion effect. You've got a
37 very heavy locomotive and a very heavy vehicle at the end
38 compressing that train and potentially increasing the
39 potential for derailment.

40 A dedicated train would allow the use of best
41 available technology. Electronic brakes or electropneumatic
42 brakes, more accurately, could be used. One of the things
43 that, I think, was mentioned yesterday, perhaps it wasn't,
44 the electronic brakes greatly reduces the amount of stopping
45 distance. In a coal train, that could be as much as 40
46 percent. More importantly, it would give electrical conduit
47 throughout the train so we can monitor for known derailment
48 of things like hot axles, hot wheels, brake failure, coupler

1 failure. And, electropneumatic brakes would still work if
2 you wanted to return the empty in a regular freight service
3 because there is still the pneumatic function of the brake.
4 And, we've already talked about satellite tracking.

5 I think, Bob Jones mentioned yesterday that
6 dedicated trains make a lot of business sense, also. You get
7 better scheduling. You wouldn't have to go through
8 classification yards. You can spend up to 24 to 48 hours in
9 classification yards. Most classification yards are in
10 heavily populated areas. So, you're talking about escorts
11 being in those yards for extended periods of time. Not only
12 is that not comfortable--but those are very dangerous places
13 to be. In addition, you'd have a shorter train. There would
14 be faster accelerating. You could travel at higher speeds
15 and stop quicker. And, once again, you could have a system
16 easily inspected.

17 I guess, in summary, we want the system designed as
18 a system to insure safe and efficient transportation. We
19 feel that the only way to get that accomplished is to have
20 that built into the request for proposal in the
21 prioritization effort and that's all I have to say.

22 ARENDT: Thank you, Robert.

23 Our last speaker in this session is Fred Millar,
24 Nuclear Waste Citizens Coalition.

25 MILLAR: Good morning. It is a pleasure to follow up on
26 the discussion we had in the Pahrump meeting. I would
27 maintain that developments in the meantime have made it even
28 more urgent that the Board pay attention to the nuclear
29 transportation issues.

30 As you know, we have two bills in the Congress that
31 have already passed. The Senate bill, S-104, passed by a
32 vote of 65 to 34, and the House bill, HR-1270, passed 307 to
33 120. So, there's a considerable momentum in the Congress to
34 get nuclear waste moving someplace out west, preferably to
35 interim storage in Nevada. That would be a very massive
36 campaign of shipments and it would only take two votes in the
37 Senate to make a difference to override the President's veto.
38 He has promised a veto, but it would only take two votes.
39 So, I just want to say it's almost urgent to at least think
40 about the possibility that by 2002 we may have the beginning
41 of a massive campaign of shipments.

42 The second thing I might mention, I think, is that
43 the Court case that we've had a decision on recently would
44 indicate on the other hand that continued on-site storage
45 would be acceptable to the Court. It sounds like what the
46 Court is saying is that within the contract dispute that
47 exists between the DOE and utilities, they open the way--the
48 Court has opened the way that DOE may, in fact, simply

1 compensate the utilities for the cost of additional on-site
2 storage. So, that's the other way that the situation could
3 go if the Congressional bills fail to get all this stuff in
4 motion.

5 The third possibility is, as you probably know, the
6 Goshute situation where some utilities want to move their
7 waste to a very, very poor Indian reservation 30 miles
8 southwest of Salt Lake City. I think that is, by far, the
9 least preferable to everybody concerned in terms of merely
10 the public relations aspect. It's an astonishing example of
11 environmental racism, and I think it's the least desirable
12 from the utilities' point of view, as well as from most other
13 points of view.

14 Let me just say that Mr. Van Namen from Duke gave
15 me a reminder about how to illustrate my next point which is
16 that I think it's important to understand that there may be
17 very serious gaps in disconnection reality, both in the
18 Government and in industry, about this and that the Board can
19 sort of, you know, jerk people into a little bit of a reality
20 check about certain things. You know, like there can't be
21 studies like the modal study and all where there's data just
22 made up. You know, you have to actually have real statistics
23 and stuff.

24 I mean, the example--and, I don't want to pick on
25 Duke, but I mean just as a useful example. You know, the
26 industry is saying we have shipped a whole lot of stuff
27 around the country, you know, from Oconee and McGuire and
28 everything. You know, there was an early hearing about this
29 where Duke Power Company had proposed to the NRC that they
30 make these transshipments, but that the routes be kept secret
31 through the commuter freeways in Charlotte. This was some
32 years ago. But, I mean, the proposal was serious. So, the
33 Nuclear Regulatory Commission looked at the Duke man and
34 said, now, let me get this straight. I mean, aren't these
35 enormous shipments on overweight trucks and aren't they
36 clearly marked radioactive with a big placard on the side and
37 don't they go between your one plant in McGuire and your
38 other plant at Oconee? Isn't this going to be a little bit
39 like elephants toeing through the tulips if you want to keep
40 these routes secret? I mean, that's a disconnect from
41 reality. The fact is that the NRC was in Congress at the
42 very same time asking for a bill to keep commercial spent
43 fuel shipment routes secret.

44 We went through Congress and we used the Duke
45 anecdote and said this is ridiculous. And, sure, Congress
46 said it is ridiculous. We can't have secrecy of commercial
47 spent fuel routes. So, what we're going to do is we're going
48 to actually pass a law to require notification of Governors

1 about routes and advance notification of shipments and so
2 forth. So, that's where you got that whole scheme from was
3 from our reaction in Congress to a proposal by the Government
4 and the industry to keep routes secret.

5 Now, all I'm trying to say is that by analogy, if
6 they were that disconnected from reality back then, you know,
7 what about are there some possibilities of some sort of
8 disconnects right now in terms of the way this whole system
9 is operating? I would maintain that there are some very
10 serious disconnects from reality. One of the disconnects is
11 that the routes--I mean, the risks of nuclear transportation
12 are just being considered as negligible. I mean, there's no
13 serious effort by this Board up to now or by many other
14 parties to take a hard look at their earlier studies, the
15 modal study and NUREG 0170 and so forth. Now, I understand
16 that you may have priorities on site characterization that
17 are extremely important, but the fact is we may have the
18 beginnings of a massive set of shipments in the near future
19 and it would be appropriate for this Board to put some effort
20 into that, I think.

21 We don't think that we have perfect casks. We've
22 found out there's a bunch of casks on the road that have been
23 withdrawn after being used in transportation which were
24 defective casks. Now, the manufacturers are even more out of
25 touch--I mean, people say they're out of practice. I mean,
26 you know, we haven't been making a lot of casks. So, the
27 human error situation there is entirely reason to speculate
28 about.

29 I would say you have had no vivid presentation of
30 the consequences of an accident. I mean, we have a new
31 computer program, RISKIND, apparently that can show
32 consequences, both health consequences and perhaps even cost
33 consequences, of a serious accident, a serious release in an
34 urban area. Now, just by analogy, in Arlington Public
35 Schools, we have a terrific gap between the achievement of
36 white students and minority students as a 40 point gap on a
37 100 point scale. When in public meetings the school board
38 gets a chance to talk about that, they never bring the data
39 to show that gap. They never bring it. You know, they never
40 show people how serious the problem is. And, when you ask a
41 principal or an administrator why don't you bring the data,
42 the answer is, well, we don't know what to do about it. So,
43 we don't want to show people the problem. I think there's a
44 little bit going on here about the same thing. I mean,
45 frankly, if there is a vivid way of presenting consequences
46 of actions to you, I think the Board ought to have a look at
47 that. That's maybe a request that you can make of the people
48 who would risk tend and so forth.

1 As you know, there's no Federal standard for
2 emergency response adequacy. So, to call up an old Indiana
3 study from the hoary past and say, hey, this is an indication
4 that is adequate emergency response around the country, that
5 is really unacceptable. There's much more recent studies
6 than that, and I would suggest that since there's no Federal
7 standard of what is adequate, the Board might want to think
8 about what is an adequate standard for emergency response
9 capabilities in terms of response to a radiological transport
10 accident.

11 There will be about 18 State laws introduced in
12 January of this year by state legislators around the country
13 on nuclear transportation precisely because they are alarmed
14 about the imminence new shipments. And, again, people need
15 your help with this. People and state legislators need the
16 help of the Board to try to figure out what the situation is
17 on a technical basis for--whether these old studies and all
18 need to be redone or whether we can just be complacent about
19 that. They need your help in those areas.

20 Finally, on privatization, I mean, you know,
21 sometimes--I mean, my experience with State officials is
22 they're very worried about the privatization thing because
23 they have a hard enough time dealing with DOE, but to think
24 about dealing with the other corporations that are going to
25 be put in between DOE and them if the privatization--meaning
26 dividing the country up into four areas. I mean, sometimes,
27 when I want to illustrate this, I say, well, we have a
28 possibility that we could have a set of routes chosen by
29 Westinghouse in the northeast as the prime contractor to DOE
30 which we'd then have to hook up with a set of routes in the
31 midwest chosen by TRW which then, in turn, would have to hook
32 up with a set of routes going into Nevada chosen by the Walt
33 Disney Corporation. Okay? I mean, it's going to be private
34 corporations apparently making some of these very basic
35 decisions and negotiating with State officials and all that
36 under the DOE's current privatization scheme. I don't think
37 that's very adequate. I think that's a disconnect from
38 reality if people think that private corporations can make
39 these decisions and that the public is going to accept that.

40 The major problem here, of course, is that in the
41 long-run, we have to have a system that wins public
42 acceptance. That means that it has to have good technical
43 basis and it has to make sense from all kinds of points of
44 view of participation and democracy and whatnot. And, the
45 Germans learned a good lesson about that recently when they
46 just tried to move six casks over a 300 mile route and there
47 was so much protest and farmers digging up the road with
48 their backhoes and everything that it cost \$10 million and

1 they had to call out 30,000 police to do that. That was
2 because they were sending it to an interim storage site that
3 did not have public acceptance. And, if we think we can send
4 it to a--just because we want to dump on Nevada, if we think
5 we can send it to an interim storage site that does not have
6 widespread public acceptance, I think we're just kidding
7 ourselves that there's not going to be that same kind of
8 problem. And, we need badly a system that is very credible
9 and very trustworthy. The transportation part of all that is
10 a gap right now. The Board's attention to that is a gap.
11 There has not been the Board attention even though it's one
12 of the two major mandates in your charter, of your
13 legislation.

14 We think that there are other issues about cask
15 integrity, routing, the questions about human factors, the
16 advantage of dedicated trains, security needs, terrorism,
17 etcetera, that bear looking into. They're not just questions
18 of public perception. They are questions that can be dealt
19 with with technical kinds of studies. Another one is that
20 you have made already a kind of, I would say, unsubstantiated
21 assertion that a centralized storage site would be a useful
22 idea at some point in the near future. Now, you made that in
23 one of your presentations to Congress and it wasn't buttressed
24 by a single citation to a study. Okay? That's a logistical
25 question. If you want to say that it's a good idea to have a
26 centralized storage site someplace in the near future, I
27 mean, show us why that's a good idea. I mean, where is the
28 data about that? Where is the logistical studies that say
29 this is going to be useful for the way we handle it instead
30 of just having a relatively simple facility at the end that
31 unloads train cars and trucks and so forth?

32 So, again, we really appreciate the Board's
33 attention to some of these issues and we look forward to
34 working with you. We think the transportation aspects
35 deserve a lot closer scrutiny especially in some of the
36 technical deficiencies of the older studies.

37 Thanks.

38 ARENDR: Thank you, Fred.

39 We will now have a break until 9:30. There will be
40 additional name tags put at the table. There probably will
41 not be room enough for everybody, but I guess it's first
42 come/first serve at the table. If you don't get to the
43 table, maybe--well, we'll find someplace. Let's get back at
44 9:30.

45 (Whereupon, a brief recess was taken.)

46 ARENDR: Let's start first by going around the table and
47 see if anybody has any comments they'd like to make. I'd say
48 a couple, two or three minutes, a few statements would be in

1 order. I don't want any discussion right at this point. I'm
2 more interested in any comments that you would like to make
3 regarding yesterday's presentation and anything you might
4 have heard this morning.

5 Let's start with Bob Fronczak. If you have
6 anything in addition you'd like to say, a comment or two?

7 FRONCZAK: I think yesterday you mentioned something
8 about shelf couplers, John, and that is a technology that's
9 been used for many years now in the tank car industry. And,
10 a shelf coupler actually prevents the cars from being
11 uncoupled in a derailment. There's two advantages to that.
12 Number one, oftentimes, there--or at least in the past, tank
13 cars carrying hazardous materials would get ruptured because
14 cars would become uncoupled in a derailment and a coupler
15 would push through the shell of the tank car. So, they're
16 required in hazardous material tank car applications. I'm
17 not quite sure that they would be required in this
18 application because it could be a standard flat car this
19 would be used.

20 The other advantage of shelf couplers is that it
21 prevents cars from becoming uncoupled in derailments and
22 prevents the--or minimizes the potential for them to stack up
23 on top of each other. In the case of a dedicated train
24 shipment where you've got maybe multiple casks, you would
25 want to prevent the casks from piling up on top of each other
26 because, for one, the heavy casks are not tested for crush
27 loading.

28 ARENDT: Bob, you have any additional comment?

29 HALSTEAD: Yes, I do, Mr. Chairman.

30 First of all, unfortunately, I missed yesterday
31 morning's session. So, I didn't get a full overview of what
32 Charlie Haughney had to say about the revalidation of the
33 modal study in NUREG 0170. In my comments today because we
34 were limited in time, I said the negative things that I felt
35 about the modal study and not the positives. I want to say
36 for the record now that all of us that critiqued the modal
37 study have great respect for the task that Larry Fischer and
38 C.K. Chu and the other people at Lawrence Livermore
39 undertook; criticisms which lacked, I think, legitimate
40 differences. But, the point is where we have said we should
41 go and we've been saying this for seven years, we would like
42 to see the modal study reopened.

43 We have a very large, long duration shipping
44 campaign ahead of us. There's no point that we can't spend a
45 couple of years addressing these issues either before or at
46 the beginning of it and I know that most of us who have been
47 critics of the modal study have stated repeatedly that what
48 we would like--the remedy is the opportunity to have the NRC

1 or some other body fund the Livermore group to reopen these
2 questions and take new data and address some of the basic
3 issues like what the cask failure variable should be.

4 Secondly, I really appreciated the things that Bob
5 Jones said yesterday about the experience with the Shoreham
6 campaign, as a person who has followed the dedicated
7 train/special train issue for a long time. I felt that Bob's
8 comments about what he had seen positive, as well as the
9 economic issues, was an important contribution. I'd also say
10 that from my personal experience talking to people who were
11 concerned about that campaign, the fact that the radiological
12 characteristics of the fuel were such that there was no great
13 radiological hazard, while that was probably lost on the
14 general public. And, I think, as Bob said, the general
15 public seems to think that everything out there is high-level
16 and highly dangerous. I got a couple of calls from
17 environmental groups who wanted to know if they should
18 challenge this and our answer flat out was, listen, there's
19 no great radiological risk here. You risk blowing whatever
20 credibility you hope to have to pursue this. So, I think
21 part of the reason why there wasn't a lot of opposition from
22 organized groups or, say, in the city of Philadelphia, Port
23 of Conchohacken, was a realization of what the risks were.

24 Finally, I think, Sieglinde made a really important
25 observation about the potential exposures during routine
26 operations with people doing mechanical and radiological
27 safety inspections. Now, I would disagree with her perhaps
28 on how many inspections should be done and what the safety
29 merit was and remember that was a picture of a TRUPAC
30 examination and the numbers we have from some other
31 inspections--for example, along the Los Alamos spent fuel
32 shipments--suggested even longer times like 60 or even 75
33 minutes may be needed. But, we think that the way to address
34 this is to limit the number of inspections and, frankly,
35 we're probably going to have to badge the inspectors from the
36 standpoint of a state like Nevada where we may be dealing
37 with hundreds or thousands of shipments per year, the issue
38 of rotating the people doing the inspections to reduce their
39 radiological exposure. But, I very much appreciate her
40 calling that issue to our attention.

41 ARENDR: Robert Jones?

42 JONES: I think I had my hour and a quarter of fame
43 yesterday. So, I won't take a lot of time other than to say
44 that in the years that I've been in this particular business
45 some things never change. One of the things that I don't
46 think has changed is the transportation. It is perhaps the
47 most vulnerable of all of the segments or elements in the
48 treatment or disposal of high-level waste and spent fuel.

1 The reason is pretty obvious. It's the only one you can't
2 put a fence around. It's the one that is out there with mom
3 and dad and the kids. Because of that, there are an enormous
4 number of challenges.

5 To not be too redundant, but I could only urge this
6 Board to try to encourage the powers to be, if you will, to
7 get on with the program. I continue to be concerned when I
8 see dates of--Fred Millar, in fact, said we may be beginning
9 a massive campaign starting in 2002 and 2003. I think that
10 we're late. If that's true, we are far behind the power
11 curve, if you will, for that. So, I can only encourage this
12 Board to say to encourage others to get on with the program.

13 I was also encouraged by Bob Fronczak's perspective
14 from the AAR. As I indicated yesterday, I've sort of been
15 involved with the railroad transportation for a long time. I
16 think that my encouragement ought to be passed on again to
17 those who are the decision makers to sort of take up the
18 cause. I sense a spirit of cooperation from the railroad
19 industry and I think that that ought to be encouraged. And,
20 that the DOE or whomever ought to be working closely to try
21 to resolve some of the issues.

22 That's all I have to say.

23 ARENDT: Dwight?

24 SHELOR: Yes, I won't take very long, at all, except I
25 would like--I'm at somewhat of a disadvantage today in that
26 we have a revised Draft RFP that we hope to issue in the next
27 few weeks. I would encourage everyone to look at it very
28 carefully because I think many of the issues that have been
29 brought up this morning have been addressed in that RFP.

30 ARENDT: Robert?

31 VAN NAMEN: One quick technical clarification for a
32 statement that was made yesterday. I believe Marvin
33 Resnikoff made the comment that the cladding temperature in
34 the dry storage containers was at the same temperature that
35 they operate in the reactors. I can assure you that we would
36 not be producing very much power if that were the case. I
37 mean, the 350 degree C number that I think you mentioned in
38 the dry storage is accurate, but in the actual operation of
39 the reactor, we're more like 600 to 650 degrees. So, there
40 is a substantial difference in the temperature in the reactor
41 versus in the dry storage container that I thought was worth
42 pointing out.

43 One other comment is that the route selection as we
44 move into this RSA concept is going to be done according to
45 the DOT and the NRC regulations. It will be a point to point
46 determination of what is the optimum route to select. There
47 will not be the handoff and logistical problems that I think
48 were implied in the end of the previous remarks.

1 Thank you.

2 ARENDT: Fred?

3 MILLAR: In line with my thing about a disconnect from
4 reality, I think it might be just helpful to think about how
5 radioactive material transportation fits within the overall
6 context of emergency response planning in the United States.
7 And, just briefly, the context is that after Bhopal,
8 Congress reacted first by saying we need to beef up our
9 emergency planning in the United States. So, they created
10 4100 local emergency planning committees around the country;
11 LEPCs, Local Emergency Planning Committees, in every
12 community. New Jersey has 588. But, the experience was--and
13 this is the sobering part--they didn't work. They didn't do
14 their job of getting information from the companies and
15 communicating risk to the communities.

16 So, Congress took another look at that in 1990 and
17 said this is not working. We have to have a real regulatory
18 program like in Europe and they brought in chemical access
19 prevention laws in the 1990 Clean Air Act Amendment of 1990.
20 That has been a much more interesting program in the sense
21 that it tells companies you have to do worst case scenarios
22 and 13 different other kinds of technical documents and
23 provide them to the workers and to the public.

24 So, the main theme I want to suggest here is that
25 there needs to be, one, a technical communication of risk to
26 the public and to the workers and, secondly, there needs to
27 be transparency about all this. Now interesting and for your
28 purposes as a transportation panel, the transportation
29 industry got itself exempted from that. So, they don't
30 participate in that whole scheme of things. So, just in
31 terms of your thinking about do we have an adequate emergency
32 response capability out there, I just wanted to mention that.
33 The current situation is, on the one hand, we've had the
34 experience that LEPCs didn't work; you know, on the other
35 hand, the transportation industry is still exempted from the
36 major regulatory structure that the rest of the chemical
37 industry is involved in. And, nuclear, of course, is even
38 more sort of removed from that whole kind of thing.

39 ARENDT: Okay. Fred, we will be looking at emergency
40 preparedness, 180-C, and a few other things like that very
41 shortly.

42 MILLAR: Good.

43 ARENDT: Shortly, maybe say six months or so.

44 NEUHAUSER: Thank you.

45 I had one correction or addition I wanted to make.
46 That is that the 30 foot drop, the 30 mile per hour drop
47 that everyone is talking about is equivalent onto an
48 unyielding surface. It's equivalent to a 60 mile per hour

1 head-on crash between two casks. That might put it in a
2 little bit more perspective. I should have said that
3 yesterday.

4 Another question I had and it hasn't come up yet,
5 the Volpe Center, which is the DOT's research group in
6 Cambridge, Massachusetts, has identified differences in mass
7 between adjacent rail cars. That's a big factor in
8 derailments. Buffer cars are often simply empty cars and
9 have a very different mass between the potential carrying car
10 and a buffer car. We think that's something that should be
11 paid some attention to. We just proposed a possibility of a
12 boxcar filled with steel shot or something like that to
13 equalize out the mass and reduce that potential differences
14 of cause of derailments. It's not the only cause obviously,
15 but it's something I think that the AAR might ought to think
16 about when they propose their system is that buffer cars
17 ought to be included in the system.

18 Lastly, although it's not directly relevant, the
19 highest severity accident that we normally analyze and always
20 have analyzed since the beginning of the Yucca Mountain
21 program--well, before that even--were the EAs for site
22 selection was 100 percent oxidation of all of the spent fuel
23 in the cask, in the truck casks, in the real casks. That
24 verges on the incredible and it's certainly bound the
25 sabotage type accidents that are--or, not accidents, sabotage
26 events that are being discussed. So, I think there's already
27 a bounding case in your average risk analysis. You don't
28 need to go out and do another--yet another less than 100
29 percent dispersal sort of analysis.

30 ARENDT: Richard?

31 GUIDA: Thank you. I have just a couple of comments.

32 One, with respect to the healthy tension that
33 exists between us and the railroads on some issues--and, I
34 mean, healthy here, okay? Is it as healthy? We're obviously
35 looking to minimize the expense we incur in shipping which is
36 why we use non-special trains. I can fully appreciate why it
37 is that the AAR and the railroads generally would want us to
38 use--and not just us, but others to use special trains. What
39 I would ask the Board to sort of think about in this respect
40 is there are two variables here which I'd like to think we
41 can separate out.

42 One variable is the economics. The other variable
43 is safety. Clearly, from an economic standpoint, we come at
44 it from a different perspective than the railroads do and
45 that's the way capitalism works, the way it should work.
46 From a safety standpoint, I'd like to think that there is not
47 as much, if any, of a disconnect between us and the
48 railroads. I would offer in that respect that if you look at

1 our containers I talked about yesterday, the M-140s, for
2 example, the total weight of the container in the railcar is
3 a little under half a million pounds, 500,000 pounds. The
4 data axles, that works out to less than the railroad per axle
5 limit of 65,000 pounds per axle. We were just talking to Bob
6 about this a little earlier and the weight of a loaded
7 railcar with coal is around 260,000 pounds. They only have
8 four axles. So, their per axle weight is comparable to our
9 per axle weight, although albeit our total railcar weight is
10 twice, almost twice what the railcar weight is for a railcar
11 loaded with coal.

12 So, my point in making that is just that on a per
13 axle basis, which I grant you is not the only metric here;
14 there are other metrics. As both Bob and Sieglinde and
15 others have identified the difference in mass from car to
16 car, but on a per axle basis, the weights are not really that
17 much different. In that sense, to the extent that there is
18 already experience out there in moving traffic, a lot of
19 experience in moving traffic like railcars loaded with coal,
20 that should give some degree of comfort that the rail lines
21 are able to move traffic that heavy without a big disconnect.

22 The other point I would make is with respect to an
23 item that Mr. Millar mentioned about identifying up front
24 exactly what the risks are associated with the potential
25 catastrophic accident in an urban area associated with spent
26 fuel shipment, what I would point out is that, as I've found
27 to be often the case, if you look in our Environmental Impact
28 Statements--not only the DOE EIS, but the EIS we prepared--
29 you will find exactly that analysis. You will further find
30 that in the public hearings that were held, I personally went
31 through 20 of those public hearings on the programmatic EIS
32 for DOE where I made presentations on Naval spent fuel. I
33 covered exactly that accident, potential accident, as well as
34 other potential accidents, the risks, the whole nine yards.

35 So, I would most strenuously disagree that this is
36 something that has not been brought before the public. It
37 has most assuredly been brought before the public. The
38 difference is that the facts are irrefuted by the--the facts
39 that are presented in those EISs were not refuted during
40 those presentations and have they not been refuted since
41 other than in a qualitative sense, not quantitatively. Where
42 are the errors in those analyses? I have yet to hear where
43 the errors are in those analyses. I don't think a Court has
44 heard that yet or else they would have found these documents
45 to be bereft of merit. So, that hasn't happened.

46 So, I would just point out I think that that's
47 something we have amply covered in our public interactions.

48 Thank you.

1 ARENDT: Charlie?

2 HAUGHNEY: Good morning, Mr. Chairman. Thank you, sir.

3 One more little tidbit on cladding temperature.
4 The 350 degree C limit is a steady state limit. There's some
5 others for transient conditions and accidents; they're
6 somewhat higher than that. But, it is a good comparison for
7 long-term performance of the clad. Fuel designers will
8 typically try to maximize the amount of fuel they can place
9 in the canister. This limit may be one of the constraints,
10 as well as weight and criticality and geometry and all that
11 sort of thing. As a rule of thumb, you can find that in most
12 PWR designs they won't go above 1 kilowatt per assembly in
13 terms of heat rate and are typically limited to five to seven
14 year cooling times, minimum cooling times, out of core
15 discharge.

16 In reality, the fuel that gets loaded is typically
17 much less than that. In fact, there have been difficulties
18 performing measurements of sort of design basis heat loadings
19 on actual campaigns because the fuel is--it isn't producing
20 that much heat. So, typically, you'd find that the actual
21 long-term cladding temperatures would be a bit lower than the
22 350; 250, 300, somewhere in that range.

23 Thank you.

24 ARENDT: Larry?

25 HAUGHNEY: Oh, I'm sorry, one clarification. That
26 doesn't neglect the need to re-look at this issue for
27 relicensing, going beyond 20 years out towards 100.

28 FISCHER: I want to point out that I was a little bit
29 concerned when Bob Halstead mentioned that he thought we made
30 up data for the modal study. Richard Mansing (phonetic) is a
31 renowned statistician and he certainly didn't make up any
32 data.

33 HALSTEAD: That was Fred's comment.

34 FISCHER: Oh, Fred's. I'm sorry, Fred.

35 MILLAR: I was talking about--

36 FISCHER: Okay.

37 MILLAR: I was referring to what is called engineering
38 judgment which I generally attribute to making up--

39 FISCHER: Oh, okay. Anyway, it does bring up a good
40 point though in that certainly people can interpret data
41 differently. We found this to be true when we did seismic
42 studies where the NRC--as you know, we had differences
43 between EPRI and Lawrence Livermore on seismic risks. So,
44 what we did is we got a panel of experts together, diverse
45 experts, and developed procedures for how to analyze
46 statistical data and do risk assessments in the seismic area.
47 Professor Theoponus (phonetic) at the University of
48 California at Santa Barbara also did this for reactor

1 accidents. This is a very fruitful method because it does
2 bring in all the diverse opinions. You don't just have one
3 lab doing it or just DOE or just the NRC. But, when I say
4 diverse, Department of Transportation, even people from State
5 of Nevada and so forth, would be in this panel. The rules
6 are set up and people fully understand what the data is, what
7 the limitations are, and where the extrapolations occur. So,
8 a good honest--well, let's say, a consensus type risk
9 assessment can be performed. But, more importantly, is we
10 have to get into the mode of risk management. We keep
11 talking about risk assessment. We need to get into risk
12 management in this area like we've done in the seismic area
13 and we've also done in the reactor area.

14 Another point I want to point out is that yesterday
15 both Sandia and Argonne talked about using the GIS system for
16 route analysis. Livermore has been doing that for the past
17 year. In fact, we're doing it for weapons shipments. We are
18 going to give a presentation in Denver on December 4 at the
19 (inaudible) Conference. I left some copies in the back.
20 Certainly, we would like people who are interested to come by
21 and see our presentation on that.

22 ARENDT: Marvin?

23 RESNIKOFF: Well, I'd like to thank the chairman for
24 putting me near the end of the table. When I go to Las
25 Vegas, I like to sit at the end of the blackjack table to
26 see, you know, which cards have been thrown.

27 First of all, I'd like to thank Sandia for putting
28 their latest RADTRAN-5 code on the web. It's an important
29 advance. Other Federal agencies should follow suit like the
30 EPA who don't divulge their codes so you can't really see
31 what numbers are built into it. So, I want to start off by
32 thanking Sandia for that.

33 Yesterday, I attacked the NRC somewhat for their
34 NUREG 170 and, you know, in the interests of equal time, I'd
35 like to attack the Navy this morning.

36 GUIDA: Remember, we have aircraft carriers.

37 RESNIKOFF: Yeah, I just have paper. First of all, the
38 Navy didn't willingly produce an EIS. Idaho had to take them
39 to Court. I was part of Idaho's group that took the Navy to
40 Court. They produced only an environmental assessment and
41 the Courts forced them to produce an EIS and, in fact, stop
42 the ship--most of the shipments until that EIS was produced.

43 I have some confusion about a lot of the remarks
44 that were made. I just want to lay them out on the table.
45 As I understand it, the Navy shipments go in standard
46 commercial freight, but on the other hand, I'm confused as to
47 how at the same time they limit the speed to 35 miles an
48 hour. If they don't have their own dedicated train, I don't

1 know how they're limiting the speed. Perhaps, it's something
2 I don't understand about commercial shipments.

3 It's important that the Navy divulge the necessary
4 information for DOE in their repository design. It's
5 important also that the State of Nevada be able to see that
6 information. That is information about fission product
7 inventory and their fuel, information about the cladding.
8 That's one of the barriers to release of radionuclides. The
9 state has to know this. In other words, some of the design
10 details, secret design details, have to be released if the
11 Navy fuel is going to go into a public repository.

12 Third, I was somewhat confused about the material
13 that was laid out on the table, these little holes that we're
14 shown. And, it wasn't clear to me whether the Navy was
15 looking at all the various kinds of missiles that are
16 possible. In particular, there were a couple of missiles
17 that were mentioned in Bob Halstead's report; the TOW 2
18 missile, the Milan missile. And, it was confusing to me
19 whether the holes--the little teeny holes that we're shown
20 were actually representative of those missiles, as well.

21 Finally, the Price-Anderson insurance, I felt was a
22 little confusing; Federal Price-Anderson insurance for
23 Federal facilities like Federal agencies such as the
24 Department of Energy. Yes, money has been authorized. A
25 small amount of insurance is available, but if there's going
26 to be a \$500 million accident, then my understanding is you
27 have to go to Congress to get the appropriation. That's not
28 going to happen quickly, you know, if people are waiting for
29 their insurance checks.

30 ARENDR: Richard, would you respond?

31 GUIDA: yes, thank you. Thank you very much.

32 Let me go down as I remember your questions, and if
33 I miss one, please--I'm sure you will, but please make sure I
34 answer them all.

35 With respect to Idaho, I think I indicated
36 yesterday that indeed Idaho was due credit in the sense that
37 they did compel the completion of the development of the
38 Environmental Impact Statements that Dr. Resnikoff described.
39 There's no question about that. It is also true that during
40 the pendency of that EIS preparation, the Navy was allowed to
41 make 27 container shipments. This is an 18 month period from
42 January of 1994 to June of 1995. There were 27 container
43 shipments that the Navy was allowed to make for national
44 security purposes. So, obviously, it was not a total
45 cessation by any means of Naval spent fuel shipments during
46 that time.

47 With respect to the nature of our cladding and the
48 classified information that is embedded with our analyses, I

1 have said categorically many times and I will say
2 categorically now that we are more than happy to share our
3 classified information with any state, whether it's Nevada,
4 Oklahoma, you name it, as long as they get the necessary
5 security clearances. We have shared classified information
6 about our Naval spent fuel with a variety of states wherever
7 people have received the information are cleared.

8 And, in one respect, I would point out in that
9 regards, something we haven't discussed and I'd just as soon
10 not burden everybody with it, but it's an element that's
11 relevant here at one point. We have done a TCLP test on our
12 spent fuel. That is a toxicity characteristic leachate
13 procedure test to verify it is not a mixed waste. We're the
14 only fuel I'm aware of where that test has been done. The
15 results of that test were classified because we had to get
16 into a detailed description of our fuel. We provided that to
17 EPA on a classified basis. EPA said we did a wonderful job,
18 accurate, under RCRA, and all the rest. We wrote letters
19 after that to every state and I believe Nevada was one saying
20 we have this classified document. Here's the sum of what the
21 classified document says. If you have cleared people, we're
22 happy to send you the classified report. Some states, such
23 as Idaho, asked for the classified report. We went it to
24 them. So, bottom line is, you know, we are prepared/have
25 always been prepared to share classified information with
26 regulators or folks who have what I'll characterize as a
27 regulatory interest which clearly, I think, Nevada does and
28 other states do with respect to spent fuel shipments.

29 With respect to the anti-tank weapons, what we
30 understood from the Department of the Army was this. That
31 there is a 10 to 1 ratio between the diameter of the incident
32 warhead and the ultimate necking down of the jet to the point
33 where it actually penetrates a container assuming the
34 container is not just an inch thick, in which case Mr.
35 Halstead is correct that obviously the hole would be larger.
36 But, assuming that it's many inches of steel, there is a 10
37 to 1 ratio. What I held was a three inch diameter warhead
38 which is what the Army considers to be the largest man or
39 woman portable device. If you look at other weapons such as
40 a TOW or a Milan, those are not portable by a single person.
41 They are crew serve. You have to have more than one person
42 to fire that type of a weapon. But, what the Army told us
43 what even in those instances where the size of the warhead
44 may be five inches, may be six inches--as I recall, the
45 largest warhead the Army had was a seven inch hellfire and
46 that is not certainly man portable. That, you need, to fire
47 from a helicopter or from a large station. Even there, you
48 get a 10 to 1 reduction in the size of the diameter of the

1 warhead versus the hole. So, what I was trying to illustrate
2 yesterday was simply that there is a large reduction in the
3 size of the hole compared to the size of the weapon and that
4 is true for larger weapons as it is for smaller weapons.

5 Now, what else did I forget? I apologize. Price-
6 Anderson and 35 miles an hour, thank you. 35 miles an hour,
7 we impose--we have as a condition of our contract with the
8 railroads that they restrict our shipments to 35 miles an
9 hour. What that means is if we are in a large train, say,
10 100 cars, and we're the last couple of cars in that train
11 then, our train is slowed down to 35 miles an hour which is
12 one of the reasons why Mr. Fronczak appropriately expressed
13 some concern over the impact on the rail network. But, the
14 bottom line is that is exactly what we have done for 40 years
15 and it is not only something that I can attest to the truth
16 of from the standpoint of what the contracts say with the
17 railroads, we have our couriers that go along with each
18 shipment and most assuredly they verify, they maintain, they
19 provide additional assurance that that standard was met, 35
20 miles an hour was met.

21 Finally, the Price-Anderson. Actually, I have a
22 copy of Price-Anderson with me here not because I was
23 expecting a question, but because I wanted to give it to Dr.
24 Knopman after yesterday's discussion. Basically, what it
25 says is very clear. It says that four contractors of the
26 Department of Energy of which the railroads are one, okay, in
27 this case, when they're extended liability coverage, their
28 coverage shall be at least the amount--shall at all times be
29 equal to or greater than the maximum amount of financial
30 protection required of licensees under Subsection (b) which
31 is for power reactor operators, the \$7 billion to \$8 billion
32 fund which is increasing with time as more money gets paid
33 and no accident occurs. So, in essence, the words in the
34 statute are very clear for a contractor of the Department of
35 Energy, the maximum protection is no less than what the
36 coverage is for the power reactor operators. As I also said
37 yesterday, once you reach that maximum protection, that is
38 not a cap. What it is then, a come back to Congress. There
39 are other words which I've likewise highlighted for Dr.
40 Knopman. You go back to Congress and you then identify to
41 Congress that more funding is needed and they then decide
42 whether to provide the additional funding out of the public
43 treasury.

44 What else did I not answer? What did I not answer?
45 RESNIKOFF: I don't think you answered the last
46 question.

47 GUIDA: Okay.

48 RESNIKOFF: Are you telling me the contractors have \$5

1 billion sitting in their pocket waiting to put up in case
2 there's a Navy accident? Is that what you're telling me? Do
3 I not understand this right?

4 GUIDA: What I'm telling you is what the words in the
5 statute say. The words in the statute say that when the
6 Government indemnifies a contractor, the level of the
7 indemnity--from my reading of the words here and you're
8 welcome to read them yourself and see if you come to a
9 different conclusion. But, my understanding is that the
10 level of the indemnity extended by the Government to the
11 contractors shall be no less than that required of licensees
12 under Subsection (b).

13 RESNIKOFF: That's an authorization; it's not an
14 appropriation.

15 GUIDA: Yes, I understand that. That's correct.

16 RESNIKOFF: Money still has to be appropriated.

17 GUIDA: Absolutely, but the point is that like--

18 RESNIKOFF: That's the only point I was making.

19 GUIDA: Okay. Well, my response to that is very simply
20 this. I agree with you that Government cannot appropriate
21 for an accident that does not happen. True statement. The
22 contrary argument, however, is the Government has a number of
23 insurance policies for a variety of things in society where
24 the Government commits to do something. And, if the concern
25 is is the Government going to be good to the commitment that
26 it makes with respect to this level of protection, then I
27 would submit to you that if we have to worry about that, we
28 have some deeper concerns about the way this Government
29 operates.

30 ARENDR: Let me suggest those of you who are interested
31 in Price-Anderson that you get a copy of that. I don't think
32 we should discuss this any further right now.

33 HALSTEAD: Could I just comment on two things for 30
34 seconds?

35 ARENDR: All right.

36 HALSTEAD: The issue about classified data and waste
37 acceptance criteria and Nevada's concerns about the
38 repository, I did not mean to waive those concerns in what I
39 said about the transportation issues. In the past, we've
40 been very concerned about the classification not only of the
41 Naval fuel, but the high-level waste calcites that are in
42 storage in Idaho. I mean, even the details of the chemical
43 and radiological composition there have been classified under
44 the assumption that someone could back-calculate your fuel
45 designs. So, we have not decided how we're going to handle
46 that. For repository performance issues, it's still an open
47 issue. Again, we're not getting into the details of the
48 weapons. Milans are man portable, one TOW with a tripod is

1 man portable. Obviously, the TOW with the tripod is designed
2 for a two person team. Remember the battle sets for these
3 weapons assume that the first shot is likely to miss.
4 They're set up for three shots. Missiles traveling 400 or
5 500 miles an hour, you know, one blip and you've missed the
6 target. It's also important they're not as easy to use as
7 some people--there are many, many issues here. Where I would
8 differ with Sieglinde is that I don't think even the 100
9 percent oxidation accident reflects the particular dynamics
10 of a large state-of-the-art missile hitting a GA-4 truck
11 cask, and that's the area of greatest vulnerability that
12 we'll have to pursue.

13 NEUHAUSER: A quick response to that. We've done quite
14 a bit of analysis of penetration to casks and I think perhaps
15 you're not really familiar exactly what anti-tank weapons are
16 for. They somewhat take out a tank, but they're basically an
17 anti-personnel weapon. They're meant to penetrate the
18 interior of the tank and to kill the people inside and that
19 is all. It's unheard of for an anti-tank weapon to penetrate
20 through the other side of a tank or something like tank like
21 a cask. So, you get one hole. The one hole situation, it is
22 very hard to drive material out, even if you have a
23 pyrophoric material in there for a short period of time.

24 HALSTEAD: I believe the British use of Milan missiles
25 in the Malvenus War (phonetic) would provide plenty of
26 contrary evidence. So, I don't think we should debate it.

27 NEUHAUSER: No, you're right.

28 HALSTEAD: I think we should--

29 NEUHAUSER: I do want to say one other thing. There is
30 a genetic fallacy of logic here that the origin of something
31 affects its truth or falsehood. The fact that the Navy
32 wasn't willing to do an EIS originally does not mean they
33 didn't do a good EIS when they did.

34 HALSTEAD: And, I would second that. I think that the
35 second Navy EIS for shipment to the repository is a very good
36 model for how I'd like to see it, in spite of the fact that I
37 wrote 20 pages of critical comments on it. It was a very
38 good effort.

39 GUIDA: We appreciated every page.

40 ARENDT: Let's continue. Richard Boyle?

41 BOYLE: Thank you, Mr. Chairman. I wasn't sure I was
42 going to get to make a statement.

43 Not to minimize of the importance of the value of
44 the work that many of the presenters, as well as this Board,
45 are doing and the support that it gives to the transportation
46 regulations we have, but I also urge the Board to be
47 realistic. As I said in the opening statement, radioactive
48 material is just one of nine hazard classes that's regulated

1 by the Department of Transportation. That represents
2 approximately 1.2 million shipments a day, tens of thousands
3 of which are RAM. If I can throw in a personal side, too, I
4 think that 1.2 million is much more accessible and usable and
5 valuable than any terrorist group than the spent nuclear fuel
6 that would have such security. But, again, that's my
7 personal opinion. So, I urge the Board to look at the
8 transport risk and the consequences and the available data
9 for all those 1.2 million shipments that are going on as we
10 speak and compare that to what is available for spent nuclear
11 fuel, as well as what some of the members of the presenting
12 Board or this round-table has asked for. And, I would look
13 at--be realistic and take a look at that data and those risks
14 when you make your decisions and your recommendations.

15 Thank you.

16 ARENDT: Thank you.

17 HANNON: I'd like to make two points. One is in
18 conversations during the breaks and so forth, there has been
19 some concern expressed about the delay, the glacial delay,
20 and the release of the--and the concerns seem to be that
21 we're taking all sharp edges and everything like that off it.
22 This is truly Government-in-action. I think it's the
23 hyphenated version. No one has, you know, really been
24 pushing for it and whether the Board will pursue that, as I
25 indicated yesterday, that would be fine.

26 I think that the key findings are not going to be
27 revolutionary. I think they're going to be pretty well the
28 ones that have been discussed over the last couple of
29 presentations and yesterday. But, the radiation risk is low,
30 but there's still quite a variability in the safety factors.
31 The amount of the materials that are shipped, it is
32 divisible. And, we were not asked to look at the OCRWM type
33 program shipment which is indicated that seems to be leaning
34 towards rail, but we were looking at spent fuel in general
35 and that the visibility can dictate loads, loads can dictate
36 routes, and so forth.

37 We hope it's going to be a matter of, you know, a
38 month or so. If anyone would like to give me their card, I
39 would--I don't normally solicit them, but I'm coming out with
40 a new line of storm doors. I will try to get a copy of it to
41 you in the first part of the next calendar year, not fiscal.

42 So, we are very close to getting it out. I've been
43 basically reading from the executive summary. Those are the
44 key findings. They're not going to, you know--the world will
45 still be on its axis.

46 Another point, it's a point that Fred Millar
47 brought up about the Clean Air Act and the imposition of the
48 requirements, the LAPC, the 4100, the 500 plus in New Jersey.

1 There's a whole range of requirements that was imposed on
2 the chemical industry. The impression was created that it
3 wasn't extended by regulation to the transportation
4 community, but the chemical companies, the industry, have
5 done I think a reasonable job of extending that to the
6 carriers that they use. There has been a real reduction in
7 the numbers of carriers that companies are tendering their
8 freight to. I think with the chemical industry, in
9 particular, they have imposed de facto a requirement that
10 they be good operators. They don't want to get sued. They
11 don't want to bet the company on things. So, I think it has
12 been extended to the transportation community by the chemical
13 industry, in particular.

14 That's all.

15 ARENDT: Jim?

16 MCCLURE: A couple of minor comments. Back in the days
17 when Sandia was doing the full-scale tests, I'll make the
18 analogy in that point in time to where we are today. In
19 those days, the Government bought me a Hewlett-Packard hand-
20 held calculator for \$395. I can go to Walgreens and buy the
21 same thing now probably for about 10. But, in a crude way of
22 preparing, one of the things that's true now is that the
23 capability of computing is advanced far beyond what it was in
24 those days.

25 One of the things that was true when the full-scale
26 test was done, first of all, there was the obvious PR value
27 of having performed the test. They have been used a lot in
28 those films. But, one of the things that isn't often
29 mentioned is that there was a strong element of demonstrating
30 the relationship between the data of a full-scale test and
31 the analysis that you could marry it to so that you didn't
32 have to do a full-scale test every time. So, I make that
33 comment in general terms. I'm not trying to really
34 particularly refute the argument of doing full-scale tests
35 because in the midlands, the Show Me State of Missouri, they
36 want to be showed, you know. So, final analysis that you
37 have to do that, that's fine, but from an engineering point
38 of view, the effort was made to try to marry analysis and
39 full-scale testing to the point where you didn't have to do a
40 full-scale test every time. That's a point.

41 Another one that I'd like to comment on briefly is
42 the business of the accident databases. The information we
43 showed yesterday had to do with transportation accidents
44 involving the vehicle transporting the material; in this
45 case, the material was spent fuel. We have to make a
46 judgment as to whether it was an accident or not and don't
47 make any apologies for that because the Federal records don't
48 say whether there was an accident involved or not. We have

1 to read the report to find out. But, the point there is that
2 I want to separate the fact that that information exists from
3 the fact that the severity studies that were done early-on by
4 Sandia, they were to demonstrate, you know, if there was an
5 80 foot bridge that a truck could roll off the side, that
6 belonged in the severity study and that kind of work was
7 done. That was one of the first things that was done by
8 Sandia. So, I want to separate actual accidents from
9 potential for an accident that hasn't yet occurred involving
10 spent fuel. One is a severity type thing, the other is an
11 actual piece of information that says that the event occurred
12 involving spent fuel or whatever material form you have.

13 Finally, I'm only tangentially involved with
14 emergency response, but there's something afoot that I think
15 you need to know about. That is early-on, perhaps as early
16 as about 1980, the Department of Transportation was actively
17 involved in chairing a committee that wrote a document, FEMA
18 REP 5, which is the guidance document to State, local, and
19 Tribal Governments on how to respond to a transportation
20 accident. That's being revised presently for about the third
21 time, I think, and that should be made available to the
22 Board. I mean, copies that are in existence now can be made
23 available immediately, but the revised thing won't be done
24 until six months or so from now.

25 Another plug would be for the Department of
26 Transportation. As long as a decade ago, they had a program
27 where they provided free of charge to the Governor of each
28 state a training package that had, one, of course,
29 administrator's documents, a student manual--I mean, several
30 student manuals and a set of about 350 35mm slides. Now,
31 these were given to the Governor of each state or his
32 designee free of charge so that they could take it into their
33 regular fire academy infrastructure and use it. Now, I
34 guess, I'm realist enough to know that people come and people
35 go, but I'd be willing to bet you that perhaps that effort
36 has sort of been diluted over the years. But, a good faith
37 effort was made a long time ago by the Federal Government to
38 make sure that kind of information was placed in the hands of
39 every little volunteer fire department or whatever exists in
40 your locality. So, I just want to say that because it
41 happened a long time ago and I don't know whether anybody
42 remembers it anymore or not. But, it should be called to
43 your attention because the DOT was responsible for that.

44 HANNON: If I might respond, the FEMA REP 5 is from its
45 title a Federal emergency management agency document. We,
46 DOT, serve on the committee forming that, as I think other
47 Federal agencies do. It is coming out and clearly if FEMA
48 doesn't make it available, we will make it available to you.

1 The training, it hasn't slacked off. In the 1980
2 authorization of the HAZMAT program, there was recognition
3 for a need for a grants program for emergency response, both
4 the training and planning of the emergency responders. It's
5 a Federal program that, you know, allocates money to states.
6 It's not the magnitude that had been contemplated in 1990.
7 It's actually about one-third of the amount of money. We
8 have a registration program which we collect money and take a
9 small percent and then send it back to the states to fund
10 their programs. It's not a lot of money. It turns about \$6-
11 1/2 million or \$7 million a year. It's an increment above
12 what the states had been planning prior to the Congressional
13 authorization.

14 The training materials, the 350 slide program, has
15 now took a bold leap into the 1990s and it's now available in
16 video. We have CD-ROMs. So, I think there is an improvement
17 that we're getting training materials available to states.
18 This is done in conjunction with DOE, FEMA, and so forth.
19 There is a large body of information available that is
20 communicated. I think the need does exist. There's a
21 significant turnover especially in the volunteer forces which
22 represent something on the order of 85 percent of the fire
23 community. So, it's going to be a constant that training
24 occur. This is general training, various levels. I mean,
25 states can allocate the funds as they see fit, but the
26 awareness level is always needed with the turnover. As
27 people reach the higher levels of technician and on-site
28 commanders, those are things that are geared and these are
29 state decisions. That fund has been in force now--we've been
30 out five years of funding. We are seeking reauthorization
31 for that fund and there is consideration being given to
32 changes in the registration program that could more fully
33 fund or fully fund what the Congress did authorize in the
34 1990 legislation. So, rather than one-third, it would be
35 something close--one-third being 6-1/2 million something,
36 closer to \$18 million or \$20 million a year. But, that has
37 not yet gone out. It's still being considered.

38 ARENDT: Fred?

39 MILLAR: I just wanted to respond a couple of things.
40 You know, first, to Dick Boyle. One thing you mentioned is
41 that there's, you know--there was a set of scenarios recently
42 done on pre-Olympics terrorism training in Atlanta before the
43 Atlanta Olympics and they chose three scenarios. They chose
44 seizing of hostages at the airport, a nerve gas attack in the
45 subway, and the third, was I understand it and reported in
46 the Washington Post, the seizure of a spent fuel container
47 from the Georgia Tech Research Reactor. So, if terrorists
48 think like Federal officials who set up these scenarios and

1 whatnot, then you'd have to say that there's sort of
2 recognition that nuclear materials have this sort of unique
3 dread kind of potential. I mean, they didn't choose ammonia
4 or chlorine or those kind of things, what you actually might
5 have thought would be important and I would agree, as well.
6 But, all I'm trying to suggest is that among the three,
7 nuclear was one of them. The result apparently was that the
8 material would have been removed permanently from the Georgia
9 Tech Reactor.

10 But, the second thing I want to say is that, Dick,
11 I mean, I agree with you that it might have been some squeeze
12 on carriers and so forth about shaping up in terms of
13 chemical transportation. But, my point was transparency and
14 communication with the public. I've served on a local
15 emergency planning committee here in Washington, D.C. We
16 went to the railroads and said we want to know what you bring
17 through there. Well, it took us a year of fighting with the
18 railroads before they would even give us that because their
19 basic attitude has been, look, we can bring any damn thing
20 through your community and you have to be ready for it. I
21 mean, that's the attitude, okay? We can bring anything
22 through your community and you people have to be ready for
23 it. So, we say in response we want to prioritize our
24 emergency response training. So, we want to know exactly
25 what you bring through here on an annual basis. We got to
26 the point where they said we're not covered by your law, sir.
27 And, we said, you know, that's true. EPCRA doesn't cover
28 the--the transportation industry got itself exempted. So,
29 our response was do you want to be in the Washington Post as
30 the only industry that is not cooperating with something as
31 mom and apple pie, as local emergency plan? And, they said,
32 okay, we'll give you the information.

33 I just want to point out there is this culture of
34 non-transparency, non-cooperation with local emergency
35 planning committees in the general transcontinental
36 transportation network. That's going to be an obstacle to
37 people having the kind of transparency that's going to make
38 this system work, I think, in a real way.

39 The last point to make is that there is a document
40 that says what people should have at the state level. It's
41 called NUREG/CR-2225. It's sort of a great unknown document.
42 And, instead you hear about all this other stuff that's much
43 less relevant. That document is called a Rockwell Study and
44 it says what a medium sized state should have to be ready for
45 nuclear transportation emergency. It has not been
46 superseded. In fact, it tends to stay under the table.
47 People don't even want to talk about it because it costs \$5.1
48 million a year. And, nobody has been putting that kind of

1 money in and nobody has got any plans to.

2 So, I mean, Dick may be right that there might be
3 some expansion in the aid to State and local officials from
4 the Federal money, but I think that's very problematic. And,
5 the current program is pitifully small and the current
6 program is based, as I understand it, on a flat fee. So, if
7 you're a mom and pop transportation company and you haul a
8 few barrels of dangerous materials around, you have to pay a
9 \$300 a year fee. As I understand it, if you're DuPont and
10 you haul a zillion tons of stuff around every year, you have
11 to pay a \$300 a year fee. Is that accurate, Dick?

12 HANNON: You are not inaccurate. Congress in their
13 wisdom said that they put leaps and bounds on the amount that
14 could be collected. I think--I mean, I think--I know the fee
15 is the minimum that was suggested in--or was in the law that
16 gave a range of \$250 to \$5,000. I don't think you can get
17 equity between mom and pop and the DuPont or Dow or so forth.
18 I think we did propose, you know, hiding behind the
19 regulatory operational end, and that proposals were made for
20 graduated fees. They did not prevail. I suggest that what
21 will come out or plan to come out in the next month or so
22 would be another approach at graduation within the latitudes
23 that the Congress provide. I'm not happy with \$250. I got a
24 lot of hostile calls and still get them from people when they
25 realize 250 is a lot to someone, but it's not a lot. If
26 that's going to be the difference between they remaining in
27 business or not remaining in business, they may be doing
28 something else, marginalizing something else. But, I think
29 it is--I don't think it's good Government to have that small
30 a fee apply to everyone.

31 The counter argument is that the bigger companies
32 are better prepared. They have better equipment. They have
33 better training programs. There are two sides to the story,
34 but I would--and we propose to have a fee that would give
35 some latitude due to the size of operations.

36 ARENDR: Okay.

37 FRONCZAK: Can I respond to one of Fred's comments?

38 ARENDR: Okay.

39 FRONCZAK: I think you impugned the reputation of the
40 entire rail industry on cooperation, and I think he was
41 dealing with one railroad in high likelihood.

42 MILLAR: No, two.

43 FRONCZAK: Okay, one or two. I know for a fact that the
44 railroad works extensively in certain areas of the country
45 with local emergency response people. One of the concerns
46 about providing information about chemical shipment through
47 communities is just a competitive kind of thing. They don't
48 want their competitors to know what kind of business they've

1 got and where it is.

2 One followup to Mr. Resnikoff's question to the
3 Navy. I guess, I don't know that you answered the 35 mile an
4 hour question. In my viewpoint, you are slowing up 90 or 100
5 cars to 35 miles per hour. Is there any compensation
6 provided to the railroad for that?

7 GUIDA: The answer to that is we meet the tariffs or pay
8 the tariffs, you know, set by what was then the ICC and now
9 the Surface Transportation Board. All I can tell you is that
10 if the railroads concluded that they had the ability to force
11 us to either use special trains or to force us to not impose
12 that kind of condition on them, I am certain they would have
13 exercised that right. They haven't done so. Instead, what
14 we have found, our experience has been that with CSX and some
15 of the other railroads we use on the east coast, as opposed
16 to UP which gives us a special train service, although we did
17 not request it because it is either for reasons of safety or
18 argued reasons of expediency and efficiency for them, for the
19 east coast railroads, they have concluded that they can take
20 our shipments and they don't pose a problem or an
21 insurmountable problem. I didn't say they didn't pose a
22 problem. They don't pose an insurmountable problem for them.
23 So, you know, the record is the record in this case,
24 fortunately. History is history. We can demonstrate this is
25 what has happened. It's not a case of did it or did it not;
26 it did. Maybe they do it as a consequence of commitment to
27 national security. That's a possibility. That is definitely
28 a possibility. You know, they're patriotic Americans like
29 everybody. So, I don't know. For whatever reason, they've
30 accepted it.

31 ARENDR: Okay.

32 RESNIKOFF: I didn't realize everybody would be dealt
33 another hand here when I calculated the odds.

34 I wanted to bring up an issue which has concerned
35 me which I neglected to bring up yesterday which relates to
36 the NRC's jurisdiction and relates to repository operation.
37 If the Department of Energy is not going to accept fuel that
38 has gross cladding defects, where is this check going to be
39 made? Is this going to be made at the repository or is it
40 going to be made at the reactor sites? In other words, are
41 they going to be shipping fuel with gross cladding defects
42 out on the highway or rail? The reason I'm asking this is
43 fuel is going to be packed in these welded containers for the
44 most part, the NUHOMS, the Transtar, or VSC. They're all
45 going to be welded containers. Those will have to be--if the
46 fuel is going to be checked, those containers are going to
47 have to be opened or at least a representative number will
48 have to be opened. My question is where is that opening

1 going to take place and when?

2 HAUGHNEY: I'll give you an answer, but you really need
3 to talk to the Division of Waste Management which is going to
4 license the repository. The shipment of fuel with severe
5 cladding damage, storage of it even, is intended to be done
6 in a canistered fashion. We have a few applications now that
7 aren't finished which are addressing that very issue. One is
8 the site-specific application for Rancho Seco which is based
9 on an NUHOMs system. It's a dual purpose application, too.
10 It has the overpack that would be suitable for shipment once
11 it's licensed.

12 I've always anticipated that there would be some
13 unloading of fuel even from the so-called multi-purpose
14 canisters for a variety of reasons. We probably can
15 speculate about today, but not exactly predict. And, surface
16 handling facilities at the repository would be needed to
17 transfer fuel into one container or another. The people that
18 work at the repository actually to a greater degree may be
19 able to amplify this. But, there's no requirement in the
20 regulation there be a multi-purpose canister. What there is
21 in the regulations really an encouragement that dual purpose
22 designs be licensed. But, if you look at the wording of it
23 strictly, it doesn't explicitly require that off-storage
24 containers be transportable, although the trend has gone that
25 way. That shift has occurred very suddenly in the last
26 couple of years. I think that's about all I can really say
27 on that.

28 There was a statement yesterday about the TN-40
29 design which is in use at one power station in Prairie
30 Island. It's a trans-nuclear storage system. It's not
31 licensed for transport and it's not clear whether there ever
32 could be. So, I think it's not quite accurate to talk about
33 it, the TN-40, in terms of a transportation accident
34 scenario. For the most part, casks like that one--let's
35 assume for a minute that perhaps it cannot be licensed for
36 transport. They would have to be unloaded at the reactor
37 site either back into the pool and then into a transport cask
38 or through a dry transfer system, you know, that's just begun
39 the earliest stages of licensing which would be cask to cask.

40 ARENDT: Okay. Norm?

41 CHRISTENSEN: I'd like to make maybe three points so in
42 order of generality, from most general to most specific.
43 This issue, the transportation issue, in general, I think is
44 something that the Board recognizes is maybe one of the most
45 immediate and challenging technical issues that we need to be
46 thinking about and that this meeting represents an important
47 step on our part, and at least I can say for myself and
48 several of my colleagues, that we're really anxious and very

1 interested to get into the details of this.

2 The more general comment I want to make has to do
3 with the point that was made a couple times and it has to do
4 with the various aspects of risk. I want to allege that
5 there are three and that they're all important and we need to
6 think about them. There's the issue of risk assessment which
7 is basically the probability of something happening and a
8 function of its consequences. There's the issue of risk
9 perception which I'll allege is just as important and has
10 real consequences, as well. It also is related to the
11 probability of something happening, its consequences, and
12 seen through the lens of its proximity in space and time.
13 And, with regard to transportation, it's the issue that makes
14 this probably more important than anything else to the
15 greatest number of people. The largest number of people are
16 going to experience a transportation issue as opposed to the
17 repository issue. It's going to happen in time in a much
18 closer time frame than the repository itself. So, regardless
19 of the probability and consequences issue, it's going to be
20 seen through a lens by the public and perceived as higher
21 risk. That is independent, but it nevertheless has very real
22 consequences, economic consequences. It will undoubtedly
23 have legal consequences. All of these play back to the
24 importance of our discussion on that.

25 I would allege then that the issue of risk
26 management is one that has to be deal with both the issues of
27 perception and the issue of assessment. A comprehensive risk
28 management program is one that thinks about those. And, I
29 know from my standpoint, I'm going to be very interested in
30 trying to sort both of those things out, but I would say that
31 one of the real challenges here will be the fact that the
32 particular issue we're talking about is one that will be more
33 directly perceived by the greatest number of people
34 nationwide, and therefore, will influence its perception.

35 With regard to the conversation to get a little bit
36 more specific and it relates to the comments that were made
37 relative to the transport of hazardous materials and I see it
38 personally as a challenge in terms of sorting it out, I agree
39 there's an enormous amount we can learn from the issues of
40 transportation of other kinds of radioactive wastes and other
41 kinds of hazardous waste. But, to do that, we need to come
42 up with a common set of standards and language that make
43 comparisons legitimate. I have to say yesterday I was
44 personally very confused by the fact that it's clear that the
45 way in which we define an incident, the way we define an
46 accident, the way in which these are operationally defined is
47 not the same. Therefore, it's very hard to make hard
48 comparisons. It's also clear to me that in this conversation

1 over these issues that the various stakeholders are looking
2 at these issues and defining them in different ways that make
3 it very confusing for those of us who need to sort this out
4 technically. We're going to have to come up with and agree
5 on some common set of standards for how we're going to
6 measure this, if in fact we're going to have any kind of an
7 agreement. Otherwise, we are going to be simply throwing
8 apples and oranges. I think that's going to be a real
9 challenge for us in various areas if we're going to have some
10 commonality in our understanding of both perception and
11 assessment of risk.

12 Finally, to get very specific and this really
13 relates to something that Bob Halstead said in his and maybe
14 it's an example of the level of things that I would like to
15 have us discuss. You put up the issue of sequencing of fuel,
16 old fuel first. And, at first blush, I could understand why
17 one might develop a rule that said, well, we ought to go with
18 old fuel first and others less. And, I'd be really
19 interested in that dialogue to understand what the drivers
20 are for doing it otherwise. That is why might we and are
21 there reasons related to safety or risk or economics? Why
22 might we decide that the sequencing of fuel to a storage site
23 or to a repository might follow some other set of rules. It
24 might have to do with spatial proximity. It might have to do
25 with security issues. But, I think that that's a level of
26 discussion that would be really critical on that issue and
27 maybe an example of the kind of things that we should be
28 considering on other issues.

29 ARENDR: Dwight?

30 SHELOR: Yes, can I respond to your last point relative
31 to sequencing of fuel? In the standard contracts that we
32 have with owners and generators which are primarily
33 utilities, first of all, we're committed in exchange for a
34 fee payment to accept all of their material and to dispose of
35 it. It's my perception that those facilities or utilities
36 that has spent fuel in dry storage now or even in the future
37 that when we go to pick up that spent fuel in accord with the
38 annual capacity report that was published in '95, they have
39 the right to give us any fuel they want that's over five
40 years old. I believe that they would be reluctant to give us
41 the fuel that's already in dry storage. The driver will be
42 empty the pool.

43 HALSTEAD: I agree and have done much thinking about
44 this. I'm not sure how we approach it, Dwight, because the
45 oldest fuel first philosophy was never more than a
46 programmatic philosophy. I mean, there isn't any legal--

47 SHELOR: No, the oldest fuel first was implemented in
48 the annual capacity report and that was primarily designed to

1 provide equity, more than anything else, because the oldest--
2 HALSTEAD: It was an agency action.
3 SHELOR: That is correct.
4 HALSTEAD: That's something not in the statute.
5 SHELOR: That's right. It was just a means to provide
6 equity and also at least at the time and may be still be
7 perceived as a way to develop a market for allocation rights.
8 If the owners and generators had an allocation that they
9 didn't need, then they could actually sell or trade that with
10 other people who had a more immediate need.
11 ARENDT: Robert?
12 VAN NAMEN: Yes. Just the way that we anticipate
13 managing the concept of delivery and making the spent fuel
14 available, I agree with what Dwight said that the oldest fuel
15 first is an allocation mechanism among the utilities. For
16 instance, Duke has fuel at three different sites and we would
17 expect to optimize the economics on our system giving DOE
18 fuel that meets the requirements of the transportation
19 systems and everything else, but it's--you know, if we have
20 the opportunity to avoid implementing the dry storage
21 facility in one place, we would certainly take advantage of
22 that. It is not our desire for ALARA reasons and others to
23 go in and cut open canisters to extract fuel from dry storage
24 prior to delivering fuel out of the pools which is much more
25 easily accessible and still meets all the requirements. It
26 is our belief that the oldest fuel first concept gives us the
27 allocation and the right to have DOE pick up the fuel, but
28 from that point, we would manage it the best we could for the
29 system as a whole.
30 ARENDT: Okay. Robert?
31 JONES: Yeah, I'd like to add just one point to the
32 matter of allocation of sort of the place in line. It's
33 something that's actually acknowledged in the current 961
34 contract and also is acknowledged in the legislation that's
35 depending on centralized storage. And, that is the treatment
36 of plants that are shut down. There are a number of plants
37 that prematurely shut down; Rancho Seco in California, Trojan
38 in Oregon. These are sites that are single unit sites and
39 are looking at dry storage. But, estimates by those
40 utilities have shown that the cost of just sort of caretaking
41 fuel, even though their place in the queue may be decades
42 away before their number comes up, nonetheless, they're
43 looking at \$3 million, \$4 million, \$5 million a year to
44 simply babysit. I think there's an acknowledgement in
45 legislation and there ought to be an acknowledgement that
46 there's cause perhaps to depart from oldest fuel--from purely
47 oldest fuel first in order to relieve the utilities of the
48 financial burden given that the utility industry as a whole

1 has already contributed something like \$14 billion to the
2 waste fund and to add more to the economic burden seems like
3 it's kind of shortchanging them.

4 CHRISTENSEN: It seems to me that one of the issues that
5 may come here is not only the economic issue of trading it
6 off against the risks, particularly of moving fuel of
7 different ages to a repository or interim storage site, but
8 that those risks are dispersed geographically? That is to
9 say it seems like there may also be risks related to the
10 distributed storage sites. I have a hard time kind of
11 weighing those two issues. There's just sort of a large
12 scale geographic issue as opposed to the risks that occur
13 both in transit and in a different location.

14 ARENDT: Before you get started, Sieglinde, do you want
15 to make a comment?

16 NEUHAUSER: Yes. I'd like to say I really appreciated
17 Dr. Christensen's remarks because standardization of
18 terminology in general would be of great use to the whole
19 effort. Yesterday, Marvin Resnikoff had a figure that showed
20 urban/suburban/rural which don't fit our definitions. We
21 don't base them on political boundaries, we base them on
22 population density. We really should be saying high, medium,
23 well. Severity, what those other industries consider a
24 severe accident would not challenge a spent fuel cask for the
25 most part. So, we need to have some very common definitions
26 that everybody follows including what's an accident, what's
27 an incident. I mean, you know, placarding is--but nothing
28 happened. Also, under-reporting, the level of under-
29 reporting is much different in different industries. I
30 really would be very pleased to see the Board come up with
31 some recommendations on that.

32 HALSTEAD: If I could have 20 seconds on this issue?
33 When SAIC calculated the accident rate, they were very
34 conservative and only took an accident that was reported and
35 involved a loaded cask. The accident rates they gave of one
36 truck accident in 1.3 million shipment miles and one rail
37 accident in 490,000. But, your point is very well-taken.

38 RESNIKOFF: This will be quick and it relates to a point
39 that Bob Jones made. The utilities would like to relieve
40 themselves of their possession-only license. I think that
41 the driving force in this Utah proposal, they would like to
42 ship all the fuel off the site and put it into a temporary
43 storage facility so that they can completely decommission the
44 site. The effect is all this material then goes out to one
45 particular site in Utah and all the utilities that produce
46 this material are relieved of their possession-only license.
47 Then, some private limited liability corporation with no
48 backup system, there's no pool, there's no dry storage, no

1 hot cell, then has all this fuel sitting out there in Utah.
2 That's sort of where this whole trend is going unless the NRC
3 steps in and takes more decisive action on this.

4 HAUGHNEY: We'll speak when we'll speak, Marvin, and you
5 know that you and I are about to be across the table in an
6 adjudicatory proceeding. So, I'm not going to discuss it
7 here. But, we aren't done with the application and haven't
8 filed testimony, written SAR, or anything.

9 ARENDT: Okay. Dan?

10 BULLEN: I appreciate Norman's comment on the general
11 nature of risk and risk perception. So, I'm going to jump
12 right to my specific questions. I only have about three or
13 four.

14 The first of which goes to Dwight Shelor who sort
15 of dated me a little bit when he said he had a 1,000 comments
16 on the RFP response and that there were 60 responders and
17 that there's going to be a reissuance of the Draft RFP soon.

18 But, I was wondering could you give us a preview of coming
19 attractions? What were the technical nature of the comments
20 and what kind of significant changes do you expect to see in
21 the proposed system based on those comments? Maybe I should
22 wait and see the full version of the film.

23 SHELOR: Yeah, I should give you my standard response in
24 that since this is a competitive procurement, we're trying to
25 maintain a level playing field. If I say anything now, I may
26 not have that level playing field. It would be in my view a
27 disaster if we went through a two year process and then had a
28 protest on the procurement. But, I think that--again, I urge
29 you to look at it. We've considered it very carefully. A
30 lot of the changes that we're making are procedural in nature
31 and not necessarily--

32 BULLEN: Okay. Then, I'll move on to my next set of
33 questions. That actually deals with the presentation by Bob
34 Halstead who did a very nice job if you'll look at his
35 handouts that he didn't necessarily go over, quantifying the
36 accident rates for shipments. But, we also had an assertion
37 from Robert Jones and I'd like to have some data on this
38 about the European success in shipment and are there data
39 with respect to the accident rates on shipments of actual
40 spent fuel? Obviously, not in casks that are licensed in the
41 United States, but the accident rates associated with that
42 and other data that we can use to derive what the actual
43 accident rate might be from which we could derive a risk.
44 So, I'll start with Robert Jones and then Robert Halstead
45 asking you have you analyzed those types of data?

46 JONES: Well, to begin with, my understanding of the
47 European accident data is purely anecdotal. That's not to
48 suggest that here aren't documents that exist that record

1 that and I'm sure there are. Ron Pope, of course, who has
2 dealt more on the IAEA level perhaps has some information
3 that could be provided. I, personally, don't know of any.

4 BULLEN: Bob Halstead, do you have any indication you
5 could give us on that?

6 HALSTEAD: I am told that Ed Vince (phonetic) once had a
7 project when he was preparing documents for DOE to assemble
8 what information existed. So, that's the only source I know.
9 As far as comparability of this--and I'm not trying, at all,
10 to dismiss the IAEA standards. I just think that the
11 physical geography of shipping to Nevada in the U.S. is so
12 different from the European experience that I--you know, I
13 don't want to dismiss their--my understanding is (a) there
14 have been no severe accidents; (b) there have been a few
15 minor accidents. But, it's difficult to break them out by
16 modes. Swedish experience with coastal water transport is
17 very different from the short haul rail experience in France,
18 Germany, and Britain. But, if anybody knows, it would either
19 be Ron or Ed.

20 MILLAR: Thank you. And, you know, one thing I just
21 might mention that years ago when I poked around a little bit
22 in France about what kind of European experience they had, I
23 found that France had exactly the opposite safety philosophy
24 on routing than we did which is that we were saying we want
25 shipments to go on major interstate highways and rail lines
26 right through cities, if necessary, because the railroads
27 were always saying we were built to connect cities and so
28 forth and those are the best tracks. On the other hand, in
29 France, apparently, they decided that they should ship things
30 on little tiny roads that go through the countryside and
31 avoid major cities, even if that meant having flashing lights
32 and escorts and whatnot. So, it was just interesting to me
33 that there seemed to be a completely opposite kind of safety
34 philosophy about routing.

35 BULLEN: So, the suggestion is that maybe the data
36 aren't applicable if we're going to take a different
37 philosophy?

38 HALSTEAD: Still, it would be useful to have them. I'm
39 not sure how helpful though.

40 HANNON: Fred, I might suggest a different form of
41 Government in the United States.

42 JONES: Yeah, I'd also like to challenge the assertion
43 that somehow we decided that we're going to go right down
44 Main Street, right through the intersection. I mean, if for
45 no other reason, logistically, why would you want to do that?
46 Yeah, I want to make a shipment as quickly as I can from A
47 to B. So, I think I'm going to pick commute hour on the
48 beltway in Washington, D.C. I mean, give me a break.

1 BULLEN: One final quick question to Robert Fronczak is
2 he mentioned that empty shipping casks might go back as
3 regular freight, but I'm thinking that you're only thinking
4 about 10,000 pounds or so out of the cask. It's still going
5 to weigh, you know, 400,000 pounds or so by the time you've
6 unloaded it. So, you would probably most likely ship it back
7 in a dedicated train. And, the indication I have is that
8 regardless of whether the cask is empty or full, it's going
9 to be reported as a nuclear incident whenever there's some
10 type of accident associated with that just because we saw
11 this yesterday. We saw essentially four accidents that were
12 full and four accidents that were empty in yesterday's data,
13 but they are all reported as such. And so, I would think
14 that if you're going to have a 400,000 pound car that might
15 have some problems as Dr. Neuhauser mentioned with respect to
16 empty cars around it or the mass differences between the
17 cars, you'd probably ship it out and ship it back in its own
18 dedicated facility. Just an observation that I'd make and I
19 see Robert Jones wants to comment on it.

20 JONES: Well, I think I made that statement that I heard
21 some studies and those were strictly cost-driven. It's
22 because--you know, I mean, at \$50 a mile or \$40, you know, it
23 sort of varies with the rail line, but you know, that's a
24 pretty steep price to pay for just hauling a heavy piece of
25 gear around. So, it's slower. I mean, when you go by
26 regular freight, it's a lot slower, but perhaps your
27 logistics will work out and it's not quite the same press of
28 the logistics on the empty as there may be on the loaded. It
29 sort of depends on the fleet size, etcetera. I think it was
30 mostly dollars rather than any other consideration.

31 HALSTEAD: I'm not at all trying to pick a fight with my
32 good friend, but I just had to put some assumptions into a
33 modeling exercise and we made the assumption that three to
34 five car sets of rail casks would be returned by dedicated
35 train strictly to facilitate turnaround time because we
36 assumed it's going to be somewhere between \$2.75 million and
37 3.6 million invested in each cask car and the accompanying
38 properly ballasted buffer car. That probably the economics
39 would drive--it is true that while an empty cask might be
40 reported, security costs, escort costs, some of the
41 incidentals would be lower on the back haul. But, obviously,
42 until somebody gets written bids and, you know, all those
43 costs expected of that, I think there is--to the extent
44 there's an argument given, as Bob says, it would have to be
45 economically justified.

46 FRONCZAK: Yeah, I would like to respond. The reason I
47 said that harshly is because of, I think, a comment John made
48 yesterday and it has to do with using the best available

1 technology. And, I understand the utility industry's concern
2 about this, too. I think the feeling is if you equip a cask
3 car with prevention technology that you'd have to equip the
4 entire rail network with that. That's definitely not the
5 case. You are very right. You don't want to have a very
6 heavy vehicle still at the end of a regular train. But if
7 you were to do that, you would definitely want to marshal
8 that close to the locomotive. And, like Sieglinde said,
9 you'd want to have appropriately designed buffer cars of
10 consistent size and weight so you didn't set up that
11 accordion effect.

12 MILLAR: Could I just add one word about the routing
13 from the real world situation? That is that the current
14 regulations--I mean, I wasn't trying to imply that somebody
15 deliberately goes through big cities. What I was trying to
16 say is that the current regulations say you're supposed to
17 use the most direct routes. And, when DOE calculates what
18 are the most direct routes, it turns out that they go through
19 a lot of big cities using the interlining highway computer
20 systems that they have at Oak Ridge. I asked the
21 technologist there one time have you ever been asked by DOE
22 to calculate the safest routes? It turns out they have not.
23 That's what they told me just a few months ago.

24 There has been, in fact, a major study done by the
25 Federal Government about the possibility of rerouting rail
26 shipments to avoid cities. It was done by Ted Glickman many
27 years ago at the Transportation Systems Center and the
28 conclusion of that study is quoted often by the railroad
29 industry as the suggestion that, well, we wouldn't want to
30 have HAZMAT shipments avoid all cities as a blanket national
31 policy because that might be going out on less adequate track
32 and the study does say that. But, the study goes on to say
33 in particular instances there should be a site-by-site,
34 metropolitan area-by-metropolitan area determination of
35 whether it makes sense to avoid cities with some of the most
36 dangerous cargos. As Ted Glickman's study from the early
37 '70s or something like that. As far as I know, there's been
38 no followup in any metropolitan area about the possibility of
39 using rail shipments that avoid a populated area with the
40 most dangerous, hazardous cargos; possibly with the exception
41 of Toronto after the Mississauga chlorine up there that kept
42 250,000 people out of their homes for a week or two. Whether
43 there's been any in the United States, I don't know. In
44 fact, maybe Bob Fronczak would know if there's been any
45 similar studies. But, I think there's been no followup, a
46 very sensible kind of suggestion, are there some metropolitan
47 areas here you can imagine a rail route that would avoid
48 urban, densely populated risks, at all.

1 NEUHAUSER: Thank you. A couple of points here. Number
2 one, the rail network in this country is not very dense,
3 especially compared to Europe. That's one of the reasons
4 it's hard to make that comparison. There are few
5 alternatives; in many cases, there's alternatives, definitely
6 still to this day involve lower classes of track. And,
7 another thing that contributes to this is that accident risk
8 is linear function of distance traveled in most cases. So,
9 you go very circuitous routes to get around one thing and
10 simply--the safest, the use of a superlative is asking for
11 something that can't be done. You simply have to show that
12 it's safe by some objective standard. You can't ask for the
13 safest because you can't find one that is, in fact, safest at
14 all times and all circumstances.

15 ARENDT: Paul?

16 CRAIG: I'd like to try and stimulate a little bit of
17 conversation on two ranges of numbers that have showed up a
18 lot in the last day and a half; namely, 30 to 35 miles an
19 hour and 60 miles an hour. The question I'd like whoever
20 feels like it to address is the relative merits and demerits
21 of shipping the casks somewhere in the vicinity of 60 miles
22 an hour rather than the 30 or 35 miles an hour?

23 GUIDA: Thank you. Let me just make two comments on
24 that respect, and then I'll defer to the transportation
25 experts. The reason we ship at 35 miles an hour, the reason
26 we advertise we ship, is not strictly for shipment safety.
27 It is really for the fact that our containers are very
28 expensive, our contents are very precious to us, and so
29 therefore, we'd just as soon not put our equipment at any
30 greater risk and I mean this relatively because I don't think
31 it's of much risk in any event. We would prefer to not put
32 it at any greater risk than we need to. So, we ship at 35
33 miles an hour not only our spent fuel, our new fuel. Our
34 brand new fuel gets shipped at 35 miles an hour, as well.
35 The fact is, however, that shipping at 35 miles an hour
36 versus at 70, let's say, obviously, as you correctly observed
37 yesterday, that's one quarter of the kinetic energy. What we
38 understood from the interactions we've had with the
39 railroads--and I would again certainly defer to Mr. Fronczak
40 on this--but we understand that setting aside the impact that
41 a lower shipment sees in clogging routes and things of that
42 nature, the likelihood of a derailment is probably reduced by
43 slower speeds. You have less of an accordion effect for
44 heavy containers at the end of a train. You have shorter
45 stopping distances. All the kinds of things that 35 miles an
46 hour brings you translates usually into increased safety
47 aside from the clogging effect and the worry about collisions
48 perhaps, a faster train hitting a slower train.

1 So, is that fair?

2 FRONCZAK: I think there's two reasons for 35 miles an
3 hour. I think you stated your case. Our 35 mile an hour
4 speed restriction and it's a recommended practice for our
5 member railroad is based--it goes back 20 some years to the
6 30 foot drop test and the fact that the casks are tested to
7 30 miles an hour and the lack of understanding of what that
8 means to railroad accidents. We're taking a critical
9 evaluation of the modal study right now trying to get a
10 better handle on it. I think that the long and the short of
11 it is is that you can--you can always envision some accident
12 however improbable is that could reach a cask. What we need
13 to get a handle on is what the disruption--first of all, that
14 you can deal with that accident if it occurred. And then,
15 once you're satisfied with that, it is how much does it
16 disrupt your business and are you going to go under as a
17 result. Those are the issues that we're trying to deal with
18 right now. Our goal, once again, is track speed with no
19 restrictions on meets or passes.

20 HALSTEAD: Our focus on cask performance has been
21 sharpened in the last year or so as we've thought about this
22 issue of what the actual operating speeds would be. In the
23 rail arena, you know, we've for a long time supported the
24 original AAR position that there should be a maximum 35 mile
25 an hour speed limit and why you can make good safety
26 arguments for that. You get down to railroad operations for
27 the UP, there's a dispatcher at the Harriman Center in Omaha
28 and he's got to clear trains through these blocks. And, if
29 everything else is moving--I don't think we want these trains
30 moving more than 55 miles an hour which I understand is the
31 top speed of trains who are carrying HAZMAT. So, I
32 personally would be very uncomfortable with it an unlimited
33 speed limit, but at least we're thinking now that we will
34 probably have to be realistic and assume that the train
35 speeds for the last two-thirds of the journey from the east
36 to the west, assuming that they do come to Nevada, are going
37 to be on the UP system operating like key trains. It could
38 be five miles an hour as they clear the blocks.

39 With truck shipments--and, I don't know, Dwight,
40 whether you guys have re-thought this or, Sieglinde, how
41 you've thought of it as a modeling exercise, but for a long
42 time when the speed limits were low, there was an assumption
43 that the truck speeds would be limited to 55 miles per hour.
44 And, I'd make the same observation now if--you know, I make
45 it my job to drive as many different interstates as many
46 different times as I can just to get that anecdotal
47 observation. And, you know, recently, on a number of
48 occasions, I've been passed by loaded tankers, you know,

1 1203s and 1075s--for those of you who know your codes, that's
2 gasoline and propane--going in excess of 75 miles per hour.
3 So, one issue is having the spent fuel trucks travel at a
4 speed so that they're not so much slower than the other
5 traffic that they don't cause accidents. And then, the other
6 issue is if there are a lot of rogue truckers out there who
7 aren't afraid of losing their commercial driver's licenses
8 which is, you know--that whole regulatory system has
9 tightened up now. So, that's why I'm surprised that I don't
10 see it reflected. So, I mean, I don't know the--I'm just
11 saying we're having to now re-think our maximum and average
12 speed assumptions that probably the truck shipments will be
13 going 65, and in the east probably the rail shipments will go
14 55 if that's what's allowed. It may as a policy matter be
15 good to restrict the trucks to 55.

16 NEUHAUSER: Well, that brings up an excellent point.
17 We've grappled with that especially since what's now--another
18 big difference is that there is big differences between the
19 urban areas--and, by that, I mean real urban areas with high
20 population densities--and lower population density areas
21 outside of the city limits and one way that reduces your
22 urban accident rate or severe accident probability and it
23 increases your upper severities in your rural areas and we
24 agree we have to start reflecting the real speeds that
25 they're likely to be traveling at. We don't know what kind
26 of restrictions are going to start coming down and this is an
27 area where we do need to update from what we had done in the
28 past definitely.

29 HALSTEAD: One other issue on speed where Fred's
30 concerned about routing. You know--oh, is Fred still here?
31 I have for many years shared Fred's concern about trying to
32 route shipments around urban areas. A big issue for rail has
33 been the abandonment, as Sieglinde--there aren't many rail
34 lines left and I just don't see a lot of alternatives in
35 trying to model this with the rail system to shipping into
36 major transfer points which in Chicago and Kansas City and
37 St. Louis mean you're in big time urban areas. But, I would
38 argue that speed limits, inspections, dedicated trains,
39 administrative--I mean, I would argue this in public--and I'm
40 sure I would not be more popular than the people from the
41 Department or Sandia--that the best we can probably do is to
42 use the highest quality track, highest quality signal
43 systems, and then use administrative controls to address the
44 safety issue.

45 You know, with a truck, there is some possibility
46 of even staying on the interstate and avoiding the urban
47 area. But, again, as Sieglinde says, that circuitous routing
48 significantly increases your mileage and your shipment time.

1 And, while I'm glad she qualified it to say that it's linear
2 in most cases because I agree, generally there aren't as many
3 options in routing to avoid highly populated areas as
4 everyone would like. So, we have to live with the system.
5 We've got to figure out how to use administrative controls
6 and risk management measures to make that work.

7 HANNON: Yes, I'd like to comment. I think I'd
8 underline Bob Fronczak's comment that these are ARR
9 recommendations that their member companies can elect to
10 follow or not. In the latter part of the '80s, the Three
11 Mile Island cleanup, while it wasn't spent fuel, per se, it
12 was very highly--you know, still radioactive rubble and it
13 was being shipped in a container that looked like and walked
14 like and sure would appear to be 125 ton rail casks. East of
15 the Mississippi, it went at the recommended 35 miles an hour.
16 West of the Mississippi, the UP, I assume for operational
17 reasons, chose to run that in the 50 or 55 mile an hour speed
18 range. Bob, I think is coming that way. We would like to
19 have some basis if we were going to require that as a
20 regulation. AS of now, there are not DOT regulations on
21 speed limit for spent fuel. There's an industry practice. I
22 think it's been grandfathered in because of the Navy program
23 that predates all these shipments.

24 The other one on rail policy and the condition of
25 tracks, FAR can speak for themselves if they choose. But, my
26 understanding is that as a matter of policy, not as a matter
27 of regulation, prior to the shipment of any of the spent fuel
28 that has occurred over the last--oh, since Three Mile Island
29 that there is a critical review of the track conditions, the
30 signaling control, the qualifications of the crew, and so
31 forth. That is a matter of policy. So, whether that becomes
32 a regulatory requirement, we'll have to see. But, right now,
33 I think, it's the responsible thing to do to maintain that
34 current--currently, I believe it's six months if it's an
35 extended campaign of shipment.

36 JONES: I just wanted to add a condition to Dick
37 Hannon's story on TMI and that is the cask you saw yesterday
38 was used in a number of shipments of--it would probably be
39 regarded as Class C waste from two nuclear power stations and
40 those went out to the U.S. Ecology site at Hanford and they
41 came from the east coast in a similar fashion. They were
42 carried in regular freight and they were moved at the 55,
43 perhaps even 60, mile an hour speed. These have significant
44 quantities of radioactive material in them and the railroads
45 were delighted that they didn't have to treat it, you know,
46 with the 35 mile an hour. So, we're talking about sort of an
47 optics issue, I think, with respect to spent fuel. There's
48 sort of some deep seeded problems from the railroad

1 perspective perhaps related to the Navy's insistence on the
2 35 miles an hour.

3 WONG: Actually, this is for Dwight Shelor and it's in
4 relationship to something that Mr. Halstead said. He said
5 that the DOE must be responsible for the major program
6 decisions and it should not be left up to the RSAs because he
7 saw problems that their activities may be uncoordinated or
8 not necessarily transparent. And, the DOE has seen some
9 challenges in managing the study and construction at Yucca
10 Mountain through its multiple contractors and actually has an
11 M&O to help them manage it. So, I'd like to hear a response
12 as to how you think the DOE is going to coordinate the
13 activity of all the RSAs and the shipment.

14 SHELOR: I guess, I'll deviate a little bit. In the
15 revised Draft RFP in response to comments that we've received
16 in that area, you will notice that the Department now will
17 retain final approval of the routes. The contractors will
18 essentially be asked to follow the DOT, NRC regulations using
19 highway and interline to come up with a preliminary or a
20 preferred route. We will ask them after our approval to
21 submit that to the NRC for their safeguards and review. We
22 will retain final authority on the approval of the routes,
23 primarily to give the states and interested parties an
24 opportunity to talk to fact.

25 HALSTEAD: You know, I didn't go, Dr. Wong, into great
26 detail because of the time limit, but the program decisions
27 involve many things that are outside the realm of statute;
28 commitment to maximum use of rail, commitment to use
29 dedicated trains, oldest fuel first and a number of these
30 others, the way that the escort arrangements are made. My
31 argument is that those decisions should not be delegated
32 either to an M&O, although an M&O contractor might make
33 policy recommendations to DOE, and certainly they should not
34 be delegated to be handled differentially in different
35 regions. I'm very much in favor of privatization on the
36 implementation end of transportation. We don't need to see
37 guys with DOE trucks behind the wheel. In fact, if you look
38 in any windshield and you see a DOE hat, you know, on the
39 driver, it might cause more concern than if it's a tri-state
40 motor carrier or some of the people who are, you know, more
41 familiar we know. But, the key program decisions, it seems
42 to me, should be made by DOE and then implemented through
43 contracts. That's a gray area right now. I know that--you
44 know, I don't want to give Dwight--saying, no, he's fully
45 aware of why we think those are--we'll be looking for that
46 new RFP to see how it's dealt with.

47 ARENDR: I'd like to ask a question and it's going to
48 take a lot longer than we've got time for. So, I think

1 probably Charlie and Larry and maybe Jim could respond or--
2 I'm interested in where can we go to determine the merits of
3 quarter-scale testing versus full-scale testing? I'm
4 thinking only of technical. I'm not thinking of any PR or
5 trying to satisfy the stakeholders or what have you. I
6 realize that that's necessary, but I'm interested where can I
7 find a technical evaluation of quarter-scale versus full-
8 scale or defending quarter-scale versus full-scale? I'd just
9 like a short dissertation.

10 Charlie, do you want to comment?

11 HAUGHNEY: For me to comment on that subject briefly,
12 quite frankly, I'm at a loss because I find it rather
13 complicated.

14 ARENDT: Okay.

15 HAUGHNEY: I don't know of any piece of paper you can go
16 to that's going to discuss that. Maybe, Larry Fischer or
17 some others might be able to. I'll tell you what we found
18 though in a licensing regime. The computer analysis which
19 today is much more sophisticated than it was 25 years ago
20 provides far more information on the dynamic loading and the
21 performance of the materials in the cask. You can spot weak
22 points, ones that are either close to margin or maybe a bit
23 beyond it very easily in the fine mesh of the finite elements
24 that are available today. Incidentally, these can be done
25 on, of course, desktop size machines and we do it routinely.

26 In licensing, we find that the use of the modern
27 computer systems for the multi-dimensional analysis of
28 dynamic impact loading provides far more information than
29 that that was used 20 or 25 years ago. The meshes are finer.
30 You can locate points where you're close to or beyond the
31 margin for the various limits that may be prescribed by
32 these; I mean, code or some other standards. You can do
33 analysis to show whether or not buckling will occur on the
34 cylinder which is an important criteria. It's particularly
35 amenable to the large, thick, stiff components in a cask
36 whether they're storage or transportation. If you're trying
37 to prove compliance with the regulation for a smaller package
38 like a radiography camera, it's much cheaper and easier to
39 just drop test it in a whole variety of orientations,
40 although analyses could be formed. In fact, the regulations
41 allow you to do analysis testing or some combination and, in
42 fact, it's usually the combination that's used for storage
43 casks; the combination of quarter or half-scale testing in
44 conjunction with a detailed analysis.

45 I've said that my senior structural staff basically
46 takes the position that if someone wants to do full-scale
47 testing on one of these casks and the practicality is a whole
48 other issue, especially in the United States of America at

1 this time, but if they want to do it, God bless them. We'll
2 review it in great detail from the test performance plan out
3 through the finish. But, we won't rely just on testing for
4 spent fuel casks. Of crucial interest to us will be the
5 computer analysis because of the amount of information it can
6 get. I won't talk about scaling and all that stuff. It
7 would probably take too much time, but it's a complicated
8 subject, I think.

9 ARENDT: Larry, do you have any comments?

10 FISCHER: Yes. I can talk a little bit about scaling.
11 We used to use scaling logs, oh, five or 10 years ago before
12 we had computer codes and so forth which can do the very
13 explicit analysis Charlie talked about where we can see where
14 the weak points are in stresses and so forth. Also, we've
15 got better instrumentation that we put on casks. We no
16 longer do add those tests. We put accelerometers and so
17 forth onto these casks and we also look for deformations and
18 get a lot of correlations when we do these tests. Plus,
19 we've learned how to filter things better at the appropriate
20 cutoff frequencies and so forth. The experience compared to
21 five or 10 years ago is just unbelievable, the strides we've
22 made.

23 In the past, they limit it to one-half or one-
24 fourth and the reason why is because there was an
25 extrapolation going on and common sense said don't go any
26 less than one-quarter scale. I think you still want to be
27 prudent because when you get down to nuts and bolts and the
28 little things, I don't think it's a good idea to go perhaps
29 below a quarter-scale even though you can model a lot of
30 things with your codes and certainly the one with the large--
31 the full-scale should be fully analyzed, as Charlie said, and
32 they will be looking at that in a lot of detail, not just the
33 scale model test.

34 CRAIG: One of the things that I do in my spare time is
35 follow the unclassified version of stockpile stewardship. As
36 you all know, we have a comprehensive test band treaty and
37 the laboratory has bought into that at a very high price to
38 be sure, but they did buy into the test band treaty. One of
39 the places that those had to do that job is Livermore
40 Laboratory. When I was reading Larry's report, my gosh,
41 there is a linkage here that ought to be made. It seems to
42 me that the computer modeling of these systems is pretty
43 trivial in comparison with the modeling of earlier systems.
44 It ought to be possible to do a really super job that should
45 be convincing to a very, very critical public in analyzing
46 things. I must say I no longer see any need for full-scale
47 testing, but I sure see a need for very competent
48 mathematical modeling that is subject to exceedingly intense

1 review.

2 Maybe Larry knows; is there cross-coupling between
3 the stockpile modelers and your modelers?

4 FISCHER: Definitely. It's just we always have older
5 versions.

6 JONES: Could I make a statement about testing, John?

7 ARENDR: Yes.

8 JONES: Very quickly. First of all, you know, there was
9 a time decades ago when one didn't even have to go through
10 any sort of modeling test. Now, I think, it's pretty clear
11 that for spent fuel casks, the combination that Charlie
12 Haughney talked about of analysis--based in analysis
13 supplemented by model testing or even full size compliment
14 testing has worked out very well. I might even refer back to
15 ancient history that Jim McClure talked about where the
16 Sandia program that culminated in the actual crash tests, in
17 fact, the predecessor sequences of that had scale model
18 testing and computer analysis and testing. So, this whole
19 correlation between full-scale and model and reality has been
20 pretty much put together even though that dates back 20
21 years.

22 Let me also give you some of a practical spin.
23 Even when one does a scale model test now, the cask is not
24 like your HO train. I mean, this actually is a scale model,
25 whether it be one-quarter or one-half. It's actually a scale
26 model of the cask that simulates those safety features that
27 are of particular interest. It doesn't exactly model every
28 single feature of the cask. If you were try to advance this
29 and look at a full size model, what that really implies is
30 that the design has gone through the entire licensing
31 process, that you've gone through vendor selection, that
32 you're now able to build a complete cask. It kind of changes
33 the whole logistics and the whole sequence and certainly
34 dramatically increases the entire time that it takes in order
35 to get this thing done. I would question whether there's a
36 marginal--whether the marginal increase in knowledge of the
37 behavior of that package is worth the incredible cost and
38 delay in time in gaining that.

39 So, I guess, I agree with Paul Craig. I think that
40 there are lots of things that you can employ, do employ, and
41 maybe can employ in the America methods arena that would keep
42 you from having to go through full-scale testing.

43 NEUHAUSER: I'd like to answer that. The importance of
44 getting really, really good data to benchmark your analytical
45 approach with has prompted us to--we have trailer for data
46 collection. It's built to NQA-1 standards and you can rely
47 on your data very, very much and it's used as a benchmark
48 codes that then go on and allow you to do the very high

1 quality analyses without lots and lots of expensive physical
2 tests. I think this is true of every lab, Livermore, BNFL,
3 Canada, everybody is doing this. This is the way it's being
4 done now.

5 RESNIKOFF: Mr. Chairman, I'd like to argue for full-
6 scale tests. No one seems to be. The argument I would make
7 is with the WIPP tests that were done, the TRUPAC containers
8 that would ship waste material to WIPP. I realize that those
9 containers are much different than these Type B containers,
10 but they were first subjected to computer tests and then the
11 NRC to their credit required DOE to do actual physical tests.
12 The physical tests actually found things that they didn't
13 find on the computer. Namely, when they did the tests, they
14 found a little grit got into the seal and kept the seal open
15 and that's not something that they actually put into the
16 computer model. So, it didn't come out of the computer
17 model.

18 Similarly, while I agree with Charlie that the
19 large components can be modeled, it's the small components
20 that are important for what we're trying to do. We're not
21 expecting the side of a cask to actually open up. We're
22 expecting more in a severe accident the seals, the valves,
23 the nuts and bolts of the cask to be of concern. And, it's
24 that, some of those components, that drive me to ask for at
25 least for one cask of the new model--there's a whole new set
26 of casks that are coming out now that differ a lot from the
27 1970s that drive me to ask for that testing simply to
28 benchmark these computer models.

29 FISCHER: I disagree. A spent fuel cask is much
30 different than TRUPAC casks. The TRUPAC, first of all, is
31 much smaller in size. It weighs a lot less. It's a lot less
32 expensive. And, also, it's a flexible pipe joint with a
33 closure. Whereas with the spent fuel cask, it is a very
34 stiff, solid joint. The comparison of the two is just
35 completely different, like apples and oranges, actually
36 tomatoes and watermelons perhaps.

37 HALSTEAD: Well, let me add another argument to it
38 briefly. I'd have to say that while the official position
39 that we have still endorses full-scale testing and I think
40 there's a reason to that, I will tell you on a personal
41 level. My perspective, like many others, is that the
42 improvements in the codes and the improvements in
43 instrumentation certainly address many of the technical
44 concerns that 10 years ago I would have insisted could only
45 be done through full-scale testing.

46 But, I'd like to take Marvin's argument in a
47 different direction on one side and stay with it on the other
48 with the TRUPAC. I think that the new designs, particularly

1 the GA-4 and the GA-9, there's some question whether those
2 casks will ever be built. It depends on whether the
3 legislation passes next year and all that. But, where you
4 have great differences in casks' general design,
5 configuration, capacity, materials, there I think there is an
6 argument for full-scale testing; (a) to validate codes, and
7 (b) is the ultimate QA check. On the large rail casks,
8 there's also the issue that there we're scaling up very
9 considerably.

10 Now, you know, the IF-300 is basically what our
11 rail experience for commercial fuel is and all of the rail
12 designs currently under consideration call for at least a
13 three-fold increase in payload. And, there are differences
14 in, you know, are you going to pour all that gamma shield in
15 a space adjacent to a machine depleted uranium composite
16 shield? So, there are a lot of things that are new. I'm not
17 at all trying to diminish the significance of the procedures
18 that Charlie's people developed for the fabricators and the
19 designers to follow. But, I think that where you have a
20 major difference in the designs, testing is justified. And,
21 I would turn this argument around that because of the
22 improvements in codes and instrumentation, the cost of
23 testing is very reasonable, particularly if we use
24 Yoshimura's target out there. If we have to build a new
25 target somewhere, testing becomes--and, this is not--I don't
26 want to compromise my friendship with--I mean, other than
27 taking it to England as a solution, you know, there aren't a
28 lot of good test facilities. So, the cost of the test
29 facility is a big factor and we once had a proposal to build
30 one at University of Nevada at Reno. You know, it was one of
31 those let's get something out of this program.

32 Frankly, the environmental issues, as Sieglinde
33 would know, would be hard to site the fire pit at Sandia now
34 somewhere else. You'd have to have a three year EIS project
35 to site a test facility. So, assuming you use an existing
36 test facility and assuming you take advantage of all the
37 advances in the codes and the instrumentation and the high
38 speed video, I think you can do a Cadillac testing job for
39 somewhere between \$5 million and \$12 million. And, I said
40 I've got have that band because I wouldn't know exactly what
41 the stakeholders would expect, but it's certainly in the
42 range of two to four times the cost of a rail cask. I
43 appreciated Larry saying that my \$3 billion total system life
44 cycle transportation cost may be low. I think there's an
45 argument for doing it.

46 Now, here's the catch. When we formulated our
47 position on testing, we assumed standardization of packages
48 for the system and, in particular, we assumed something like

1 the high-capacity truck cask with different designs rather
2 than interchangeable baskets for BWR and PWR fuel would be
3 the workhorse truck cask and that something like the MPC
4 would accommodate maybe 70 or 80 percent of what was shipped
5 by rail. Now, the problem is with the general proliferation
6 of designs and the tendency of storage vendors to want to
7 talk about captive shippers, yet particular reactor sites
8 hooked into a transportation overpack conceivably, if
9 Charlie's guys license these canisters for dual purpose, you
10 now have a situation where you might have to do tests on 10
11 or 12 packages. And, I will agree that that makes it very
12 costly. Why would you consider doing it in spite of all
13 that?

14 The public that is going to be convinced by this
15 type of testing may or may not be the general public. I have
16 different feelings at different times about how people
17 rationally respond to technical data. Maybe we don't
18 communicate it well. I mean, the problem may be as well with
19 the communicators as the audience. But, certainly, among the
20 public that is likely to halt campaigns through litigation,
21 the state officials, some at least of the environmental
22 groups who are advised presumably by people like Marvin who
23 might respond to this data, I think from the experience and
24 planning for WIPP, there is nothing more compelling than
25 those videos. And, they're boring videos. You know, they're
26 not like the crash tests at Sandia that teenage boys line up
27 to see over and over again. At the information center at
28 Yucca Mountain, JC can tell you. But, you know, boring drop
29 after drop after drop. And then, you know, you clip that out
30 so you don't show the--you just show the drops. And, that's
31 very compelling when you want to backup all of the computer
32 work you've done.

33 I mean, I don't mean to sound wishy-washy because I
34 think there's a good technical reason where you've got
35 changes in design configuration, materials, payload. But,
36 even if that wasn't of any value, at all, I think it needs to
37 be considered that the public acceptance value of regulatory
38 testing, not demonstration testing--and I'm sorry for taking
39 this much time, but I've been waiting to have this debate for
40 a long time and they haven't invited me back to the American
41 Nuclear Society for a couple of years.

42 CRAIG: John, can I ask another question?

43 ARENDR: We're about out of time, and if you can do it
44 in about one minute, yes, but we're going to have to--

45 CRAIG: Anything in one minute. The problem is related
46 to that of doing--the reason we never did lots of cooling
47 accidents in full-scale reactors, it's just too expensive. I
48 don't know which corner you should drop the cask on in order

1 to do the definitive test. If you're going to get a good
2 statistical basis, you can't do just one test. I'm all for
3 the PR stuff. I'm all for lots of smaller scale validation,
4 but if you really wanted to know what's likely to happen with
5 a whole set of different angles and so forth, that's simply
6 not accessible to you at the full-scale level.

7 HALSTEAD: Oh, I completely agree. I completely agree.

8 ARENDT: Thank you very much. I'm sorry that we're
9 already over. I knew when I raised the question that it
10 would take at least a week, and if we were all in the room
11 together and couldn't get out of it until we resolved this,
12 it just would never get resolved.

13 I want to thank everyone here. I want to thank you
14 all for your presentations. For the videos that you
15 supplied, they were excellent. I thank you for the time that
16 you have devoted to this subject. We've got to do more. We
17 understand that. What we need to do as a Board is to plan a
18 little bit, determine what do we do next, and we have to
19 determine priorities as to what's the most important in the
20 transportation of spent fuel.

21 With that, we will get to our public comment. Mary
22 Olson, since I neglected to or overlooked you or whatever
23 yesterday, I will let you go first. Mary is from the Nuclear
24 Information & Resource Service.

25 OLSON: Thank you. I am Mary Olson with Nuclear
26 Information & Resource Service. I want to mention that we
27 are an organization that works with concerned citizens
28 nationwide. We have vocal organizations active in all 50
29 states on nuclear related issues. I can tell you that the
30 transportation issue is something that is bringing many more
31 people to want to know about our work and the information
32 that we have which is partly to network them to entities such
33 as the Board for the kind of technical information that you
34 provide. So, I want to acknowledge and appreciate your
35 technical position, but go ahead and make some comments that
36 go across the full range of what we're been hearing for the
37 last day. I will try and keep it brief, but I have a series
38 of things to say.

39 The first is that we are deeply concerned by the
40 tendency and multiple fronts upon which we see transportation
41 analysis and evaluation being clicked and reduced in terms of
42 public participation and public input. Specifically, the
43 ways in which the Yucca Mountain Environmental Impact
44 Statement have been started, stopped, tabled, possibly
45 changed by pending legislation. I'd like to remind the room
46 that the legislation has not actually changed. So, we're
47 under currently today a law which does not yet assume that
48 this transportation is actually going to happen, at all. So,

1 keeping that question open, we believe it's vitally important
2 that the public be involved and have a voice in the process.

3 A second place where this is occurring is the
4 Department of Energy's own move to drop the current siting
5 criteria. The current siting criteria for Yucca Mountain
6 requires that transportation and socioeconomic impacts be
7 analyzed. Under the alternative proposal that's been put
8 forward by the Department, those issues drop out completely
9 under that front. And, of course, the proposals that are
10 pending on Capitol Hill would preclude any participation by
11 the public, at all, in the transportation issue until we have
12 already designated Yucca Mountain as the site.

13 So, I'm here to say, no, this has not happened;
14 yes, it does need to happen; and, no, quite frankly, I wish
15 the Navy experience was representative and that we were only
16 moving a relatively small amount of this radiated material
17 and a relatively small number of shipments in highly
18 engineered containers that they are capable of, but I don't
19 see that experience or that analysis as representative of
20 what we're facing here nor do the people I work with.

21 Now, I want to just briefly that it is a natural
22 human tendency when doing an analysis, especially from a
23 technical point of view, to be faced with a "problem" and
24 then try and explain that problem away. I would like to
25 encourage the Board and all others in this room to hear that
26 that really does not help in what lies ahead, a very, very
27 difficult tradeoff decision by different communities across
28 the country in dealing with a problem that we all share. The
29 radiated fuel is a problem we all share when you have
30 statements come out like the original EA on Yucca Mountain
31 stating that there is no significant radiological impact from
32 the transportation of the radiated fuel to a centralized
33 repository.

34 I was in the system architecture sessions that the
35 Department of Energy ran under Mr. Shelor's shop for a number
36 of days. This would have been like '94, I guess. And,
37 hearing day after day about the projections of different
38 aspects of the program and in the transportation section
39 about the different accident scenarios. I had to go up and
40 ask the DOE staff how the worst case scenario which does
41 involve, you know, radioactivity leaving the accident site
42 and contaminating civilians--and we all know that conditions
43 depends on how far that goes, but you've got people who are
44 deeply affected--how that stacks with that broad statement
45 that there's no significant radiological impact and was
46 informed that it is standard policy to average the local
47 consequences across the entire U.S. population when you're
48 doing a large analysis. Okay. We're past the large analysis

1 point. What I'm trying to say here is that you don't serve
2 the whole process when language is used to mask the kind of
3 information that we're getting here which is non-trivial. We
4 talked about 8 curies as a release. That is non-trivial in
5 terms of doses to people who are in the area.

6 So, what I'm calling for and I think will help with
7 the public is an acknowledgement that it does help to talk
8 about the consequences only. But, not just to do that in an
9 isolated instance, but also when the information is being
10 presented to policy makers and to concerned citizens.

11 Having said that, I want to say I appreciate that
12 yesterday I heard concern expressed over routine exposures.
13 That's one of our key concerns is the ongoing 10 milligrams
14 per hour at the surface--or 100 milligrams per hours at the
15 surface, 10 milligrams at two meters. That is a real concern
16 for me. When we talk about health affects, we tend to only
17 report fatal cancers, and yet we say we have a no threshold
18 philosophy about radiation. Well, I'm sorry, fatal cancer is
19 a very high threshold. We have to start talking about the
20 other non-cancer health effects that this kind of ongoing
21 exposure to the population is going to result in.

22 So, bringing that up, bringing up the environmental
23 justice questions of who are the 50 million people that
24 Department of Energy cites live within a half mile on either
25 side of the transportation routes, are those 50 million
26 people representative of the general public? If not, what
27 are the factors for considering those social equity issues
28 along with the technical and safety issues of the
29 transportation.

30 And, finally, I liked hearing that there's concern
31 these days about cumulative impacts because we are talking
32 about decades. And, if there are indeed license extensions
33 or new reactors which are being contemplated, we're not just
34 talking about decades, we're talking about a fixture in our
35 society.

36 So, I'm bringing these up, but in the spirit that
37 they not be attacked to dismiss away, but in the spirit that
38 they be examined and brought forward as part of the
39 complexity of decision making. The fact is we haven't made
40 these decisions yet.

41 Another thing that I really appreciated was hearing
42 from a professional of fuel that if, in fact, the law is
43 going to change and we are going to have an answer to where
44 is this material going that we are behind in that process.
45 So, today, we don't have that answer, but if the law changes,
46 suddenly we do. From our perspective at the local community
47 level, we agree there is very little time allowed in the
48 legislation pending on the Hill which is one of the reasons

1 that people at all levels in communities including City
2 Councils are opposing the legislations.

3 So, I'm going to keep this very brief, but I just
4 wanted to state that arbitrary deadlines and schedules that
5 don't permit resolving this very rich discussion that was
6 just had on physical testing, I can tell you right now the
7 public understands the value of high technology, but I think
8 we also have a basic disposition to like to pay attention to
9 data, real world data, things that have actually occurred.
10 So, to move forward with a whole generation of casks that
11 have never undergone any type of full-scale physical testing,
12 I believe, will be a real mistake.

13 And, finally, I just want to mention that when
14 Daniel Dreyfus was the director of the Office of Civilian
15 Radioactive Waste Management, he did not take a position on
16 physical testing, but to his credit, he was willing to put it
17 on the agenda of the Department. I have not seen the
18 Department move forward in regard to that question.

19 ARENDT: Mary, we're going to have to conclude. We're
20 limited to five minutes.

21 OLSON: Okay. All right. I'm done.

22 ARENDT: And, we will take your full--

23 OLSON: One last little comment as I walk away is we're
24 only halfway through the generation of this fuel and there's
25 serious proposals for putting MOX fuel into our reactors. I
26 think the Board needs to ask the questions about how would
27 that change the irradiated fuel system.

28 Thank you.

29 ARENDT: Russell di Bartolo from Clark County? I remind
30 you all we're trying to limit this. We've got about five or
31 six more and we want to just limit it for five minutes and we
32 will take your complete report.

33 DI BARTOLO: I promise to stay within the time limit. I
34 passed out a map to you. We, too, in Clark County have a
35 wonderful GIS that provides us with geographical analysis and
36 so on. I have come with literally a hand annotated map, but
37 I think it will provide you with the information that you
38 need.

39 With all due respect to my colleagues and friends
40 and experts on the panel, I would like to see the next
41 session on transportation consist of a panel of local
42 government decision makers, Tribal decision makers, others in
43 the community who have a very different perspective, at least
44 presenting perspective, but very similar values and
45 requirements with regard to public safety and health, using
46 such experts, as consultants or contractors may be sitting
47 behind. This is the consensus conferencing model that is
48 used in Denmark and some of the European countries as

1 citizens and the public consider technical issues. I would
2 hope that this would be considered very much by this group.

3 Secondly, with regard to data and data assumptions,
4 there's been a very good report that is presently--it's
5 either just been released or will be released very shortly by
6 Bentz (phonetic) & Associates, a consultant to Department of
7 Energy, especially with regard to the waste management PDIS.
8 It talks about data management, data assumptions which may
9 lead to commonality of data and management of such
10 information.

11 Also, at the Nevada Test Site, there's a center now
12 for excellence. They have responded to local government
13 concerns with regard to numbers of shipments and types of
14 shipments through particular areas to the Test Site by
15 presenting a quarterly data report that includes that
16 information which we have asked for which include numbers of
17 shipments, source terms, emergency response requirements,
18 etcetera, etcetera. So, I would recommend that this group
19 look at those reports.

20 What we have here, I think, and I think Ms. Olson
21 referred to that, as did Board Member Christensen, is that we
22 have sort of a town down rift here. We have a number of
23 technical experts who do wonderful and very valuable work.
24 However, in the translation, there is much loss. The fact is
25 that routing agencies in the state with consultation with
26 local governments and Tribes and so on, they have certain
27 understandings of certain information and they look very
28 carefully at immediate public safety concerns. Whereas, the
29 models that are used look at the future health effects,
30 primarily. At least, the emphasis appears to be there in the
31 eyes of local government decision makers. So, there's
32 immediacy versus the long-range effect; sort of a separation.

33 In the past, the models have emphasized
34 probabilities where we looked at absolute. An accident in
35 the Las Vegas area that in addition to being the fastest
36 growing area in the country with now over 1.2 million
37 residents, also has at any one time between 200,000 and
38 300,000 visitors daily in the area. Under present
39 regulation, some of this, much of this, or even all of the
40 truck shipments would come within one mile of that non-
41 resident population and through the center of the resident
42 population. So, we think very much about just one accident
43 and what effect that may have on our economy, let alone our
44 public safety aspects.

45 You will find that local governments and Tribes and
46 States are very rasonable when the Department of Energy
47 policy allows for very meaningful negotiation. As a matter
48 of example in the WIPP program, there was an agreement that

1 is--I'm not sure if it's been reached or it's presently under
2 final negotiation whereby the State of California will allow
3 use of a route that comes straight south from the Nevada Test
4 Site in route to WIPP to connect up with an interstate only
5 under certain conditions, some of which have to do with the
6 constraints on time, the duration of the shipment campaign,
7 seasonal constraints, emergency response requirements, and so
8 on. This, in fact, helps avoid the Las Vegas area and has
9 proved to be very valuable.

10 Just a couple of more things. One is that under
11 the spirit of cooperation and negotiation between local
12 governments, State, Department of Energy, and Nevada Test
13 Site, the emergency management division has just completed in
14 cooperation with these agencies I mentioned, a feasibility
15 study for intermodal transport that would bring low-level
16 waste from Fernald (phonetic)--we're using Fernald as a case
17 study--to Caliente, the handwritten entry into my map, and
18 then by legal weight truck around the northern and western
19 parts of the Test Site for final disposal at the Test Site.
20 Here, they looked at some very different criteria for making
21 comparisons among the possible intermodal transfer sites and
22 associated routes. They looked at the cost of the program.
23 They looked at public safety, feasibility of a potential
24 site, and public acceptance. Public acceptance, in fact,
25 becomes then a way to use this aspect of risk perception, the
26 P word which DOE does not use in its EISs, because the local
27 officials have their thumbs and their arms around the
28 feelings of their communities. We find that there's some
29 communities who want this, who see it as a way for economic
30 development. And, what we are finding now, this has provided
31 a very good basis for an environment assessment that will be
32 done by the Department of Energy with the possible result of
33 having a publicly acceptable and safe and cost-effective
34 transport system that would take a number of shipments,
35 almost 1,000 shipments a year, from going over Hoover Dam, a
36 two-lane highway, at about 10 miles an hour, that attracts a
37 number of people into the rural areas with excellent
38 administrative control.

39 I would also like to refer to one last thing, the
40 TEC working group. The Transportation External Coordination
41 working group is now working in a subcommittee on a routing
42 paper that will put in the prospectives of State, local
43 governments, the Department of Energy, Tribes, and others
44 with regard to the routing question for spent nuclear fuel.
45 We will be discussing that even further in January's meeting.

46 Thank you.

47 ARENDT: Jack Edlow, Edlow International.

48 EDLOW: Thank you very much.

1 Unfortunately, I come here today as somebody who
2 has a lot of experience in shipping nuclear fuel. My company
3 is involved in shipping fuel and has been for 40 years. We
4 ship everything in the nuclear fuel cycle from uranium ore
5 concentrate through and including spent fuel. In the last 60
6 days, we have made three spent fuel movements in the United
7 States, two of commercial fuel, one of foreign research
8 reactor fuel, a total of nine casks. In the last 12 months,
9 we have moved approximately 6,000 truckload equivalents of
10 radioactive materials in, out, and through the United States.
11 So, we have some amount of experience in this.

12 Personally, I've been involved in this business for
13 about 28 years. Although I did attend my first spent fuel
14 shipment at the age of 14 in 1963 when my father managed a
15 shipment that came through the Port of Savannah at that time.
16 Now, I say it's unfortunate that I come here with this
17 experience today because I'm trying to observe here as a
18 member of the public. You see, I'm not at the table with the
19 rest of you. So, I'm trying to be a member of the public
20 here. So, I want to make a couple of comments to you based
21 on some public perspective, rather than my potential
22 technical experience here, as well.

23 The two points I want to make is, first of all,
24 there's nothing new that you all are discussing here today.
25 This is something that obviously has been going on for a long
26 time, both in the commercial program and in the Navy program
27 in this country and around the world. Shipments of
28 radioactive material have been going on, the fuel cycle
29 continues, and will continue to go on. And, all of your
30 discussion and all of your concepts about this is about
31 something that is already happening. So, you have to
32 understand that there's a system in place already, a
33 regulatory system of Department of Transportation, Nuclear
34 Regulatory Commission, and internationally other bodies, as
35 well, who already understand this process, have analyzed it,
36 have promulgated regulations, security, and will continue
37 with this. And, what you're talking about is scaling up this
38 process from relatively small numbers, some thousands of
39 shipments in the context of an overall hazardous material
40 scheme to a little bit more, to some hundreds of shipments a
41 year, maybe going to 1,000 shipments a year potentially, but
42 I think unlikely that it would even get that high. In the
43 context of overall transportation system, negligible. It can
44 be done easily within the contest of existing regulation.

45 To talk about worrying about routing of shipments
46 to a place that you don't even know where it will be or
47 speeds of equipment that haven't even been designed yet, to
48 me as a member of the public is preposterous at this point.

1 Let's get on with the basic policy of what's going to happen
2 and how it's going to happen, where it's going to go, and
3 then we can worry about some of these technical details
4 within the context of the regulatory system that already
5 exists.

6 The only other point I want to make and this may be
7 extremely controversial and that's okay. I have never ducked
8 from this in the past. The public does have a right to know
9 what's going on; absolutely. But, the public's right has
10 been delegated through the Governmental process, through
11 agencies like the NRC and the DOT. These are the
12 representatives of the public through their Congressional
13 representatives and through their Executive Branch. The
14 public is not asked whether the B-52s should go to Iraq and
15 the public is not asked whether a chlorine shipment should
16 come down a road. The public does not need to be asked
17 whether the routing through Clark County is adequate or not.
18 This has been delegated through the regulatory agencies.

19 Thank you very much.

20 ARENDT: Thank you, Jack.

21 Our next commenter was Chris Cordner from the
22 Electric Power Alert, Associate Editor.

23 CORDNER: It's going to be a few questions and I'll be
24 off. What I wanted to do was ask a few questions to the
25 members of the panel who are from NRC, DOE, and DOT
26 specifically, but if any of you would like to add, that would
27 be wonderful.

28 What I wanted to ask questions about today is the
29 Presidential Commission report that they produced recently on
30 critical infrastructure which they had a transportation
31 section which I hope you're all aware of where they discussed
32 DOT's inability to prevent terrorism and sabotage or I guess
33 inability, so far. The questions I wanted to pose to you was
34 what do you think of this report? Is there any significance
35 to this nuclear waste storage and transport debate in the
36 context of that report? Then, secondly, given the report's
37 findings that DOT is a little sketchy on its ability to
38 protect, can you be confident as the NRC person was yesterday
39 that sabotage and terrorism is a relatively minor problem at
40 this point or in the future?

41 ARENDT: Thank you.

42 Alex Thrower with the Urban Energy & Transporting
43 Corporation, Project Manager?

44 THROWER: Good morning. My name is Alex Thrower and I'm
45 with UETC here in Washington, D.C. We're a small non-profit
46 representing the interests of Government officials that are
47 interested in hazardous materials transportation and
48 particularly in the transportation that DOE undertakes. My

1 ears perked up a minute ago when Bart mentioned the need to
2 have local officials to provide their perspectives to the
3 Board. If that's what--if you're interested in having that,
4 I'll certainly be happy to talk with any of the members of
5 your staff. We've got quite a list of very interested local
6 officials who would be more than happy to come and give you
7 their perspectives on these kinds of issues.

8 The only other thing that I wanted to say was to
9 briefly touch on the issue that's come up a couple of times
10 the last couple of days and that's the issue of emergency
11 preparedness for local officials and State officials, as
12 well. Bart mentioned the routing work that the TEC working
13 group has been undertaking. My organization is the convening
14 organization for TEC, although we get support for bringing
15 that group together from the Department of Energy.

16 In addition to looking at routing issues, we also
17 have a subcommittee that looks at training and equipment
18 issues that are applied to a couple of different contexts.
19 One is the requirement under Nuclear Waste Policy Act to
20 provide technical assistance for civilian waste shipments.
21 But, also, more generally, it tries to answer the questions
22 of what is the appropriate level of training and response for
23 the kinds of things that DOE is doing now and how do you
24 integrate that into hazardous waste emergency preparedness
25 both at fixed facilities and for the whole universe of other
26 things around the nation's highways.

27 I guess, you know, I don't want to put words in
28 anybody's mouth, but I've kind of heard an unspoken
29 assumption here that there is a defined and agreed-upon level
30 of preparedness awareness that everybody seems to think is
31 necessary. I think there's probably no disagreement that
32 awareness level training and information is a very reasonable
33 thing for people along the routes to have. But, the
34 experience has been in the TEC working group--and these
35 people are composed of experts from industry and labor
36 organizations and there's quite a few people here today who
37 have been to some of our meetings--that's where the agreement
38 kind of ends.

39 I think, there are different levels of what people
40 think as far as how you go beyond that. There are a number
41 of people that say we need to go ahead and spend the money.
42 We need to allocate more funds and get local officials and
43 State officials to have absolute best in response and
44 detection equipment. On the other side of the spectrum are
45 some people who are quite strident and they are State and
46 local officials who have said, quite frankly, that it's much
47 better to respond to an incident without this kind of
48 detection equipment than it is to have the equipment and not

1 respond.

2 In other words, considering the high turnover rate
3 for local officials who may be expected to be able to
4 calibrate this kind of equipment and to take care of it,
5 you've got a potentially horrifying scenario where you have
6 got a traffic accident where somebody is hurt and for
7 whatever reason, either lack of information or just something
8 hasn't been properly calibrated or cared for, there's a
9 perception there's radiation risk and somebody actually dies
10 from routine injuries because there was this, you know,
11 possibly an oversupply of information. That's just one thing
12 I'd like to leave you all with.

13 I think we could agree that maybe more funding for
14 DOT training programs and the other training programs is
15 appropriate, but even if the programs were a wash in money,
16 we've still got these other issues that DOE and the rest of
17 the affected communities are working out.

18 Thank you.

19 ARENDET: Thank you.

20 Dave Elias?

21 ELIAS: Like Mr. Edlow, I, too, have a lot of experience
22 through the years. I'm experienced in bringing together a
23 large amounts of technical resources, financial resources,
24 and people resources to accomplish various ends. I've been
25 project engineer for the last four nuclear power plants built
26 by ConEd, my current employer, and was responsible for the
27 startup of the last three of those plants. My current role
28 is director and executive engineer for high-level waste. I'd
29 like to provide some information to the Board relative to
30 some questions that have been asked over the past two days.

31 One of the questions had to do with the production
32 rate of transportable overpacks. As many of you probably
33 know, ConED was first or amongst the first to commit to the
34 new breed of dual purpose storable and transportable spent
35 fuel storage systems. We committed to the Holtec
36 International system. Those systems will be produced by U.S.
37 Tool & Dye. In recent conversations with the president of
38 that corporation, he's assured me that he will have a
39 production rate of about one per week for the transportable
40 overpacks. They are currently building a production line in
41 a facility that's about three football fields long and they
42 intend to be able to provide one transportable overpack per
43 week.

44 We at ConEd will need for all of our spent nuclear
45 fuel if it's all put in dry storage about 1,000 canisters,
46 large number of storage only overpacks, and then a more
47 limited number of storage and transportable overpacks. So,
48 it is happening. These systems are being built. The system

1 has not been licensed yet and a lot of this is happening in
2 parallel on the basis that the system will eventually be
3 licensed by the Nuclear Regulatory Commission.

4 There was some comments about utility interest and
5 the quality of these systems and I'd like to just indicate to
6 the Board that we at Con Ed indeed do have interest in the
7 quality of these systems. We understand the entire industry
8 needs to assure quality of the systems. We've embarked on a
9 number of initiatives which we are sharing with utilities
10 around the country. One of those initiatives is--and I
11 believe it's unique to the spent nuclear fuel storage and
12 transportation area--is quality functional deployment. We
13 have put a significant amount of resources into further
14 improving the quality of the efforts of both Holtec
15 International and U.S. Tool & Dye with respect to the design
16 and manufacturing of these systems. We are sharing that with
17 the rest of the industry.

18 Another thing that we're doing is we're fabricating
19 a prototype. It's a full scale prototype. It's not to be
20 drop tested, but it will help us to wring out the fabrication
21 processes and to improve the quality of the hardware that
22 will eventually be coming off the assembly line. A
23 significant amount of money has been allocated to this, both
24 our own and the money of Holtec International. That
25 prototype is scheduled to be fabricated in the early part of
26 1998.

27 We also have formed a utility advisory board to
28 Holtec International. I chair that board. We had our sixth
29 meeting about a month ago and there were over utility
30 representatives present at that particular meeting. That
31 board is open to all the utilities and the numbers of
32 utilities participating in the board have increased. We
33 offer in aggressive fashion advice and counsel to Holtec
34 International. And, also, we have formed the fabrication
35 oversight committee and, to date, 10 utilities have committed
36 to me to participate in that fabrication oversight committee
37 and we will monitor the fabrication of this prototype that's
38 being built at U.S. Tool & Dye.

39 So, things are happening. Hardware is being built.
40 I would like to offer to Dr. Resnikoff, if you have concerns
41 with respect to a full scale prototype like grid underseals
42 or some other things you uncover in your studies, I'll
43 provide you with my card. I'd like to hear about them and
44 perhaps we can work some of that into a prototype program.
45 The prototype will not be used to store spent nuclear fuel.
46 It will be used to wring out the fabrication processes. It
47 will be used to improve our handling at the sites, to educate
48 the people at the sites who will have to work with the spent

1 nuclear fuel systems, and it will probably be lent to other
2 utilities so that they, too, can learn. So, all this
3 experience is planned to be shared.

4 And, I guess, I would like to say one thing with
5 respect to one of the Board members reached a conclusion with
6 respect to strategies and what strategy the utilities will
7 follow in terms of shipping spent nuclear fuel. We have 30
8 nuclear reactors at ConEd. As I said, we'll have 1,000 of
9 these canisters. We will have a fleet of shipping overpacks
10 and storage overpacks. Believe me, as we discuss the various
11 strategies available to us in terms of how we will eventually
12 ship spent nuclear fuel to wherever, it's a very complicated
13 process. We represent about 12 to 15 percent of the
14 installed nuclear capacity in the United States. And, you
15 extrapolate that to the entire nuclear industry in the U.S.
16 and it becomes a very complicated problem and there's no easy
17 solution or one solution to the strategy we'll be pursuing.

18 Thank you.

19 ARENDT: Thank you very much.

20 Is there anybody here that has signed the register
21 to comment to make sure I don't overlook anybody? If you
22 have, raise your hand?

23 (No response.)

24 ARENDT: I guess there isn't and again I want to thank
25 everyone for coming, for the time that you put in in
26 preparation for the meeting. I think it's been very useful.
27 We've gotten a lot of information that we need to digest and
28 there will be additional panel meetings at some time in the
29 future.

30 If you have any comments to people here around the
31 table that you'd like for the Board to have, send them to
32 Woody Chu at the Board office and he'll see that everybody
33 involved will get them.

34 Thanks again.

35 (Whereupon, at 12:10 p.m., the meeting was adjourned.)

36

37

38

39

40

41

42

43

44

45

46

47

48

- 1
- 2
- 3
- 4
- 5
- 6
- 7