

UNITED STATES  
NUCLEAR WASTE TECHNICAL REVIEW BOARD

PANEL ON PERFORMANCE ASSESSMENT  
TSPA-VA

April 24, 1998

Sheraton Uptown Albuquerque Hotel  
2600 Louisiana Blvd., NE  
Albuquerque, New Mexico 87110

BOARD MEMBERS PRESENT

Dr. Daniel B. Bullen, Chair  
Dr. Paul P. Craig  
Dr. Priscilla P. Nelson  
Dr. Richard R. Parizek - Session Chair  
Dr. Alberto A. Sagüés  
Dr. Jeffrey J. Wong

CONSULTANTS

Jean Bahr, University of Wisconsin at Madison  
Steve Frishman, Nevada Nuclear Waste Project Office  
Chris Whipple: JCF Kaiser Engineering

SENIOR PROFESSIONAL STAFF

Dr. Carl Di Bella  
Dr. Daniel Fehringer  
Dr. Daniel Metlay  
Dr. Victor Palciauskas  
Dr. Leon Reiter

NWTRB STAFF

Dr. William Barnard, Executive Director  
Karen Severson, Congressional Liaison  
Frank Randall, Assistant, External Affairs  
Linda Hiatt, Management Assistant

I N D E XPAGE NO.**Session Introduction**

Daniel Bullen, Panel Chair. . . . .

**Questions/Comments from the Public**

David Shoesmith, Mine Geologic Disposal Program, ACL.

John Kessler, EPRI. . . . .

Alf Wikjord, AEC. . . . .

**Evaluation of disruptive scenarios**

Ralston Barnard, M&amp;O, Sandia National Laboratories. . . . .

**Traceability example**

Cliff Ho, Sandia National Laboratories. . . . .

**Summary of TSPA-VA**

Holly Dockery, Sandia National Laboratories . . . . .

**Comments by the Nuclear Regulatory Commission**

Keith McConnell . . . . .

**Summary comments**

Steve Frishman, Nevada Nuclear Waste Project Office . . . . .

Chris Whipple, ICF Kaiser Engineering . . . . .

Jean Bahr, University of Wisconsin at Madison . . . . .

Robert Andrews, M&amp;O (INTERA). . . . .

**Closing remarks and adjournment**

Daniel Bullen, NWTRB. . . . .

P R O C E E D I N G S

1

2

(8:00 a.m.)

3           BULLEN: Welcome to the continuation of the Performance  
4 Assessment Panel Meeting of the Nuclear Waste Technical  
5 Review Board.

6           We're going to start this morning with public  
7 comment. As I understand it from Linda Hiatt in the back of  
8 the room, there's only one person who had signed up. That  
9 person is Dr. David Shoesmith from the Mine Geologic Disposal  
10 Program of ACL. So, I would like to recognize Dr. Shoesmith  
11 and welcome his comments.

12          SHOESMITH: Please, take your seats and put them in the  
13 chairs provided. Good morning. I had a few questions and a  
14 few comments to ask about the waste package modeling and  
15 about the cladding model.

16          First of all, a question. Is there now a  
17 performance function for the carbon steel within this model  
18 or is it irrelevant in determining radioactive release rates?

19          ANDREWS: It delays, of course, the initiation of  
20 corrosion of the C-22, but as you saw on those curves up  
21 there, that delay is a few thousands of years, you know, from  
22 2,000 years to 8,000 or 9,000 years, and then the C-22 starts  
23 degrading. So, the performance benefit is only that. Only;  
24 2,000 to 9,000 is still some significant performance benefit.

1           ANDREWS: Yeah, it doesn't seem to me that that's any  
2 benefit, whatsoever, unless you can show that it affects the  
3 early radionuclide release rates, things like technetium and  
4 iodine. It didn't strike me that there was any sensitivity  
5 in the model to carbon steel.

6           I had a couple of reservations about the weights in  
7 the model, as well. You're still using the pitting factor  
8 and I think you're getting relatively short lifetimes to  
9 carbon steel because of that. That will give you,  
10 effectively, a linear dependence for pit growth rate and  
11 that's not what's normally observed. Since you haven't yet  
12 got any influence of microbial corrosion in there, if you are  
13 forced to put that in, then the carbon steel is not going to  
14 work like a barrier, at all. So, just a caution on the use  
15 of that pitting factor.

16           I had a question on the C-22. The presentation  
17 showed all the variability in the general corrosion rates,  
18 and yet the thing that's going to kill the C-22 is whether  
19 under seepage conditions you get a localized corrosion  
20 failure. There was nothing presented yesterday that told me  
21 how important the localized corrosion failures are for the C-  
22 22. I assume that there is a model in there, a pit or  
23 crevice growth model, but there was nothing there that told  
24 me how important it was. Do you have any sense of how many  
25 containers or waste packages suffer from localized corrosion

1 and how they affect the early release rates? Is that a  
2 sensitivity analysis on how it's being done?

3       ANDREWS: Yeah, in fact, the initial failures of the  
4 package--failure being defined by any penetration that goes  
5 all the way through the package--those initial ones are  
6 through pitting, through crevice corrosion.

7       SHOESMITH: Yeah, but I wasn't clear from the  
8 presentation yesterday that that was the case.

9       ANDREWS: Well, you have to look on the one plot that--  
10 you can't see it on a linear scale; you have to look at the  
11 log scale, the log scale I presented. And, the first ones  
12 are occurring at, I don't know what it was, 8,000 or 9,000  
13 years from pitting and no general corrosion is going all the  
14 way through until some 15,000 or 20,000 years from the model.  
15 So then, general corrosion, in fact, is greater, at least  
16 from the results that we have and from the stochastic  
17 modeling that we've done and for the weights that were  
18 applied on the different chemistries that Jerry talked about,  
19 the general corrosion, in fact, dominates the pitting  
20 corrosion.

21       SHOESMITH: I can see that it dominates in terms of the  
22 number of packages that fail that way, but those few that  
23 fail by localized corrosion must dominate the technetium and  
24 iodine releases at some times.

25       ANDREWS: Yeah, at early times; that's correct.

1           SHOESMITH: So, it's critical to know how many and how  
2 sensitive that is because any expert elicitation, there's a  
3 very large distribution in rates that were provided by the  
4 people on that Panel. What's concerning me is are those  
5 rates in there and is that the measure of uncertainty because  
6 within those differences, there are actually conceptual model  
7 differences? There's still a large amount of uncertainty not  
8 only about the rates that should be put in, but how the  
9 process is going that is dictating those rates. So, I think,  
10 but I'm not certain, that convoluted into your uncertainty is  
11 a conceptual uncertainty in the model. I think that's a  
12 dangerous thing to have in this prediction. I'm not quite  
13 sure how to get it out. It's just an indecisive conclusion  
14 that came from the expert process.

15          ANDREWS: No, I agree with you. I mean, when we elicit  
16 some things, some things are parametric and you can go  
17 measure, and some of them, as you point out correctly, are  
18 conceptual. In this particular case, probably those  
19 uncertainties are being combined and it's difficult to parse  
20 them back out again. As you know, we elicited this and had a  
21 continual elicitation on this to try to parse that out, and  
22 it was even difficult for the experts to parse out. So, in  
23 fact, they were combined as one global distribution of  
24 uncertainty; some of it conceptual, some of it parametric,  
25 and even some of it environment because the environment is

1 uncertain. So, all three of those uncertainties are buried  
2 in that CDF or PDF of degradation rate; or corrosion rate,  
3 essentially. And, you're right, you can't parse them out and  
4 always say, okay, that process and those rates have a  
5 significant impact on performance; which, I think, both Mike  
6 showed and Jerry showed, whether you're talking about total  
7 system performance and therefore it points the finger at  
8 additional work as required to (a) breakout that difference  
9 in uncertainty, and (b) collect additional information,  
10 analog information, laboratory information, to help, you  
11 know, narrow that uncertainly band, or maybe it still exists.

12       SHOESMITH: Well, it does--it will exist until somebody  
13 does some experiments.

14       ANDREWS: Yeah.

15       SHOESMITH: But, just to reiterate my point about the  
16 localized corrosion failures, I don't think they should be  
17 lost in general uncertainty. I think you should look at them  
18 and determine how important they are for those early releases  
19 because there's still a lot of leeway in experimentation and  
20 opinion to change the rate base that dictates those. 8,000  
21 or 9,000 years is a pretty short lifetime for C-22.

22               If I could have just a last comment on the cladding  
23 model. I think a cladding model is way too optimistic. I  
24 would like to ask you where you got the basis for assuming  
25 that the corrosion for the zircaloy would be 10 to 1,000

1 times less than the corrosion for C-22? Where did that  
2 number come from?

3       ANDREWS: I can't answer that directly, but it came from  
4 some literature values that were a comparison under similar  
5 environments of C-22 testing and zircaloy testing. They were  
6 from the literature.

7       SHOESMITH: I'd just like to put a little perspective on  
8 what--if that is a comparison to the general corrosion rate  
9 for C-22, then to assume the rate is 100 times less for  
10 zircaloy is to say that one atomic layer of material is  
11 oxidized about once every 10 to 20 years. I think, there's a  
12 credibility gap in making that kind of claim. I don't think  
13 actually that in the model you can have compared C-22 to  
14 zircaloy corrosion under the same conditions because the C-22  
15 is analyzed on the conditions of acidity, high chloride  
16 concentration, and oxidizing conditions provided by the  
17 carbon steel. Those conditions could be transferred to the  
18 inside of the container. Carl de Bella mentioned that  
19 yesterday. I don't think you've made that comparison. If  
20 you look at zircaloy under those conditions, it's much more  
21 susceptible to pitting and crevice corrosion than C-22. So,  
22 if that is not included, I would suggest that you could lose  
23 two orders of magnitude in your cladding failure lifetimes if  
24 you compare them under the same basis.

25       The second point I'd like to make is this is

1 already a hydride loaded material. All you have between you  
2 and more hydrogen going between the environment and the  
3 material soaking up more hydrogen is this oxide layer which  
4 cannot retain its properties as a nonpermeable membrane for  
5 hydrogen forever. So, a second likely failure process is if  
6 that you put in a little bit more hydrogen, reach the  
7 embrittlement limit way before you would ever grow the oxide  
8 through this layer, and it will fail by an embrittlement  
9 process. My point is that I don't think it's viable to have  
10 a reasonable cladding model and I think yours is overly  
11 optimistic. Again, I think a cladding model could be  
12 developed, but it's something that's just off the end in  
13 terms of experiment at the moment. Just my opinion.

14         ANDREWS: Okay, thank you.

15         BULLEN: Thank you, Dr. Shoesmith.

16                 Are there any other members of the audience or the  
17 public who would like to comment at this time? John Kessler?

18         KESSLER: John Kessler, EPRI. I guess, I'd like to  
19 begin by complimenting Bob Andrews and Abe Van Luik. I  
20 thought their presentations were excellent. Bob, you're very  
21 right in acknowledging the graphics department because I  
22 think that a lot of the graphics that were shown yesterday  
23 help a lot in terms of telling the story and explaining more  
24 what you're doing. I think that's going to help when you try  
25 to put together a description of what is the Viability

1 Assessment here in terms of pictures. So, I thought that was  
2 very good. I was left almost reeling with how many changes  
3 I've seen happen so quickly in terms of the modeling  
4 approaches, especially in the saturated-zone. I think I  
5 understand why that was.

6           Another comment would be I like the sensitivity  
7 studies that were shown. There needs to be a whole lot more  
8 of them. As I heard the comments yesterday, that certainly  
9 again helps understand more what's in the models. Another  
10 impression I had was the same as Dave's; the cladding model  
11 did seem marginal in its justification. Another one would be  
12 the net infiltration numbers again, seemed like they've swung  
13 to the other end of the pendulum. Another thing that seems  
14 to have changed is that there's no more matrix interaction  
15 and it seems that the project is taking care--credit for when  
16 we see sensitivities that suggest when you turn matrix  
17 interaction on or off--you know, base case versus absolutely  
18 none--there's almost no difference which suggests that there  
19 is almost no matrix interaction. That seems on the  
20 conservative side.

21           BULLEN: Thank you, John.

22           Would anyone else like to comment? Yes, please,  
23 identify yourself?

24           WIKJORD: My name is Alf Wikjord. I'm with AEC. I have  
25 a question of clarification regarding the radionuclide

1 inventories that are going into these analyses. I presume  
2 that you're handling end member decay chains for actinides  
3 and a suite of fission products. I'm not clear as to what  
4 went into the front end of the TSPA analysis and what  
5 screening procedure you took to limit that number.

6       ANDREWS: Yeah, well, let me try to answer that. In  
7 previous TSPAs, there have been a wide range of nuclides that  
8 we've looked at. In TSPA-95, for example, we looked at 39  
9 radionuclides and tracked those through. In TSPA-93, I  
10 think, it was a similar sort of number; it may have been 36  
11 or 39. In those previous TSPAs, you know, the ones that came  
12 out as important were always these 11 or 9, whatever it was,  
13 that we've chosen to look at here. In order to verify that  
14 those are the correct 39 or--sorry, the correct 9, we're  
15 doing additional analyses with all of the 39 in there. In  
16 fact, there's more than 39, but with the other 30 in there to  
17 assure ourselves that, in fact, they are retarded which is  
18 generally why they didn't come out or they have very low  
19 solubilities or they have sufficiently low half-lives so that  
20 they aren't long-term dose contributors. So, those analyses  
21 will be documented in the final VA, but we didn't present  
22 them here. Yeah, or if they have high dose conversion  
23 factors.

24       The first part of your question is the--all of the  
25 parent's ingrowth is already incorporated into the source-

1 term. So, for example, neptunium does have parents; you  
2 know, half of neptunium is there initially and the other half  
3 of it essentially is ingrown and so we have that ingrown  
4 neptunium already in the source-term when we go and do the  
5 transport and release calculations.

6 WIKJORD: I think there would be also ingrowth and decay  
7 calculations in the other component--compartments of the  
8 system.

9 ANDREWS: Yeah, there are.

10 WIKJORD: I have a corollary question. Chlorine-36 is  
11 noticeably absent and I'm wondering what the basis for that  
12 screening out chlorine-36 was?

13 ANDREWS: It was never a big dose contributor. Much of  
14 its dose conversion factor was small or whether its  
15 concentrations were small in previous analyses, but it has  
16 never been a significant dose contributor.

17 WIKJORD: It's one radionuclide that has sort of cropped  
18 up in other international programs in recent years.

19 BULLEN: Bob, this is Dan Bullen. The dose conversion  
20 factor for chlorine-36 is pretty darn big. So, even though  
21 the inventory might be low and it's got a pretty long half-  
22 life, it's an issue that actually has been raised in the low-  
23 level waste disposal realm and we've had to struggle with it.  
24 So, it might be something that's a very good suggestion to  
25 take a look at because you'd hate to be blindsided by

1 something that may not be a problem, but you should at least  
2 have the analyses done.

3       ANDREWS: Like I say, in those 30 nuclides, chlorine-36  
4 is one of them. So, in those analyses, it still didn't come  
5 out to some major dose contributor.

6       BULLEN: Right. Well, it might be where it is. Since  
7 it's an activation product, it may be as an impurity in the  
8 metals and it could be tied up and never come out in the time  
9 frames that you're interested in. As compared to a fission  
10 product which would be released, you know, when you reach  
11 clad. But, that's something that should be considered and  
12 probably addressed.

13               Very good comments, by the way. Thank you very  
14 much.

15               Any other comments or questions from the public?

16       (No response.)

17       BULLEN: Well, thank you very much.

18               Now, I'm going to announce a little chairman's  
19 prerogative here. We have some people who have to leave and  
20 would like to see the Rally Barnard talk. So, we're going to  
21 move the Rally Barnard talk first if Cliff doesn't mind. I  
22 didn't mention this to you, Cliff. So, can we do a quick  
23 rearrangement of schedules here and just flip the first two  
24 talks? So, we're going to hear the evaluation of disruptive  
25 scenarios presentation by Rally Barnard so that certain

1 members of the audience might hear this before they have to  
2 catch their planes. I don't normally do this; so, I'm not a  
3 soft touch. But, in this case, we'll make a special  
4 exception for Rally.

5           So, this is Rally Barnard from Sandia National  
6 Laboratories.

7           BARNARD: Well, thanks, Dan, you'll get your \$5.00 at  
8 the end of the meeting.

9           Here's our obligatory picture of what all the  
10 components of the analysis are. Off to the side here from  
11 the main path of analysis, you find some of the disturbed  
12 events. So, that's what I will be talking about.

13           Before I launch into disturbed events, per se, I  
14 will give a little bit of philosophy about what we're trying  
15 to do with disturbed events. Specifically, what we're  
16 talking about are disturbances and they are defined as having  
17 a probability of occurrence of less than 1. The nominal case  
18 has a probability of occurrence of 1. It is going to happen.  
19 The nominal case in all its glory is going to happen for  
20 sure. So, what we're talking about are events which are not  
21 necessarily going to happen. Generally, it's easy if you can  
22 identify your disturbances as having very low probability;  
23 for example,  $10^{-7}$  or  $10^{-8}$  per year, and these numbers are  
24 important, as we'll discuss a little later on. The other  
25 thing which makes it easy to define a disturbance is if you

1 have some kind of event going on like an earthquake or a  
2 volcano or a significant identifiable change in conditions,  
3 such as would happen with criticality. You notice rockfall  
4 isn't up there because it's kind of a different animal, but  
5 for the time being, I'm including it in with disturbed  
6 events. We do say that the disturbed scenarios do not  
7 incorporate expected changes, such as climate changes and so  
8 forth. So, for that reason, that is not being considered in  
9 my analysis.

10           Okay. For TSPA-VA, there are four disturbed  
11 analyses conditions/scenarios that are done; igneous  
12 activity, seismic activity, nuclear criticality, and human  
13 intrusion. Of these four, I am going to talk about the first  
14 two here today, but if there's interest in other ones, I'll  
15 go extemporaneous and talk about them, too.

16           Igneous activity, there are three subcategories of  
17 igneous activity that we're considering. Direct releases at  
18 the surface, this is the igneous activity that people all  
19 envision a volcano popping up and lobbing waste packages onto  
20 the Mirage volcano in Las Vegas or something. An increased  
21 source-term for groundwater transport that results from an  
22 intrusion occurring inside the repository and shake-and-bake,  
23 if you will, on the waste packages. The third one is  
24 alteration of saturated-zone transport that might occur from  
25 an intrusion that happens outside the repository block, but

1 someplace downstream in the flow path that the normal  
2 groundwater is transporting the waste and alters that in some  
3 fashion which has a deleterious PA effect.

4           Today, I'm going to talk primarily about direct  
5 volcanic releases and the emphasis I'm going to place on the  
6 analysis that I'll talk to you about is calculating what the  
7 radionuclide source-term looks like for this. The problem  
8 consists of having a source-term and then having some kind of  
9 dispersal mechanism, which when the radionuclides reach the  
10 surface are dispersed, in this case the dispersal model that  
11 we're using is the Center for Nuclear Waste Regulatory  
12 Analysis. That's a mouthful. They have developed a code  
13 called ASHPLUME which provides an analysis of dispersal by an  
14 ash plume, believe it or not, of contaminants. So, they have  
15 an analysis which has struck the DOE as being a very good  
16 model for dispersal and the part that we are providing for  
17 TSPA is to calculate a source-term that is going to be used  
18 by this dispersal model. The source-term, as you will see as  
19 I'm talking along, is attempting to incorporate the real  
20 physical processes that are going on in mobilizing the waste  
21 into an eruptive stream. The performance measure for what  
22 we're doing is the good old boy or girl, 20km, downwind in  
23 this case, from the eruptive vent, from the eruptive  
24 activity. This person is considered to be in the Amargosa  
25 Valley. It's your friendly Amargosa farmer. So, that's the

1 point at which the doses will be reported.

2           Okay. Here's some pretty cool pictures of exactly  
3 what the steps are in order to have an igneous activity  
4 scenario result in releases at the accessible environment.  
5 The first thing you have to do is you have to determine  
6 whether you have an igneous intrusion occurring in the Yucca  
7 Mountain area, at all. If it does, you have to ask whether a  
8 dike intrudes the repository. It doesn't necessarily have to  
9 do that. Does the dike intrusion directly contact the waste?  
10 Maybe; maybe not. Can you breach the waste packages if it  
11 happens? If you breach the waste packages, can you remove  
12 the waste from the waste package? If you remove the waste  
13 from the waste package, can you entrain it into the ascending  
14 ash? If that happens, is the waste dispersed in the ash  
15 plume? So, that's the sequence--that's the hoops that we're  
16 going to try to jump through here to see whether we're going  
17 to have releases.

18           I'll start at the beginning now with intrusion  
19 characteristics. The DOE has provided the probabilistic  
20 volcanic hazard analysis from which I got the probabilities  
21 of various dike lengths and orientations in the Yucca  
22 Mountain region and whether the probabilities that those  
23 would intrude the repository and the length of the dike in  
24 the repository and its orientation. All that's important  
25 because the orientation and length of a dike in a repository

1 determines how many drifts are crossed by the dike, and  
2 therefore, the potential for having interactions between this  
3 intrusive body and the waste packages.

4           There were a number of other plumbing parameters,  
5 I'll call them, that were necessary in order to be able to do  
6 the analysis which were not part of the PVHA, but which were  
7 elicited from the experts in volcanism; a couple of the boys  
8 at Los Alamos, Greg Valentine and Frank Perry. Among them  
9 are the dike width, the number of vents--the number of vents,  
10 not events--vents that occur in the repository; the  
11 fragmentation depth, the depth at which the liquid magma  
12 containing dissolved gas turns to gas with magma, lava, ash  
13 shards in it--that turns out to be extremely important for  
14 the analysis; then, the eruption duration, volume, and  
15 properties such as density of the magma.

16           Here's an illustration of dikes shown in red  
17 randomly cast upon the Yucca Mountain region showing how they  
18 might intersect with the repository. In this case, it shows  
19 just one dike intersecting, but in the course of the  
20 analysis, numerous dikes were found to do so.

21           Now, we're talking about trying to have the  
22 intrusion interact with the waste packages. The ground rules  
23 for this analysis were that the intrusion had to directly  
24 intersect the waste package. If it's a near-miss, that's  
25 only good in horseshoes or hand grenades, but it doesn't

1 count for direct releases of radionuclides. The near-misses  
2 are reserved for the second part of the problem which is the  
3 enhanced source-term caused by the heat and the aggressive  
4 environment causing rapid degradation of the waste packages  
5 and conversion of the spent fuel or other waste inside the  
6 waste packages into a form that can be transported by  
7 groundwater. The interaction can either be between liquid  
8 magma or ash, as I mentioned, depending on the location of  
9 the fragmentation depths.

10           Here's a visualization of how the dike intersects  
11 the drift. I'm talking about a plan view here showing the  
12 dike come through. Here's the drift and here's a couple of  
13 stubby little waste packages. Here is the dike. And  
14 effective dike width, you can see, is dependent upon the  
15 angle, the orientation angle. It's dependent upon the dike  
16 width, and so a little bit of trigonometry leads to an  
17 effective dike width. You can see that if you had dikes that  
18 are more towards 90 degrees, you get more packages hit. And,  
19 if they are more zero degrees pointed north, you have fewer  
20 packages hit.

21           BULLEN: Rally, just a quick question on that picture?

22           BARNARD: Yes?

23           BULLEN: Does it assume that there's no magma flow down  
24 the drift after you've intersected it?

25           BARNARD: Glad you asked that. When we're talking about

1 the enhanced source-term, that is the main way that you can  
2 interact a lot of packages by waste flowing down the drift.  
3 But, the rules of the game are for this one that you have a  
4 direct intersection of an ascending magmatic body with a  
5 waste package because it looks like it's a real stretch to  
6 have event up here where this is vertical and waste and magma  
7 to somehow flow back down the drift and up the conduit.

8       BULLEN: Actually, a parallel is that is there another  
9 vent that it could go down and then up again? Is that part  
10 of the model?

11       BARNARD: Oh, never mind. Yeah, the ground rules for  
12 that one are if the fragmentation depth is above the  
13 repository so the interaction is with liquid magma, then it's  
14 assumed that if you do have a vent occurring inside the  
15 repository, it might be possible to have some sloshing around  
16 and liquid transported. In the case where the fragmentation  
17 depth is below--so, you're talking about an ash blast coming  
18 up which is the picture I'm showing here--each vent, only  
19 those packages in that conduit are affected and there may be  
20 flow to the sides and stuff like that, but that's being  
21 ignored.

22       Okay. Here's a conduit and dike widths based on  
23 the work that the Los Alamos people and others have provided.  
24 Dike widths are generally about 5 meters at the outside,  
25 smaller than that. That's the typical in their opinion of

1 dikes at the Yucca Mountain area. In contrast, conduits can  
2 be considerably bigger. There are going to be a lot of  
3 erosion of the conduit rising up and so forth. So, we  
4 considered conduit sizes, radii going up to perhaps 60  
5 meters, 120 meters across. That's a big one. Drifts are 28  
6 or so meters across. So, it's possible, you can see, to have  
7 a conduit that comes up that could intersect up to three  
8 dikes. So, a little bit of trigonometry done here will give  
9 you the number of waste packages that are actually within the  
10 radius of the ascending conduit and those are the ones that  
11 contribute to the source-term in that case. To anticipate  
12 what things are going to look like, the number of waste  
13 packages hit range from 1 to 20 or 30. So, in some cases, we  
14 can have a pretty big contribution of radionuclides to an  
15 eruptive event.

16           Okay. We've gone through down to here and so the  
17 next thing we have to do is find out whether we can breach  
18 the waste packages. What are we talking about? We're  
19 talking about the magmatic intrusion is really a pretty nasty  
20 environment. Temperatures are above your average poached egg  
21 temperature and there's some pretty nasty stuff present, and  
22 it's felt that in this environment the corrosion allowance  
23 material on the waste package does not survive. We are  
24 kissing that off right away. You're talking about a lot of  
25 iron. Iron is not a very good thing to have in a sulfurous

1 environment. So, just as a conservative treatment for this,  
2 no matter what time the event occurs, we just say we're going  
3 to forget about the corrosion allowance material.

4           In contrast, the corrosion resistant material, C-  
5 22, really looks like it's going to be fairly resistant in  
6 this environment. We're talking a super alloy similar to  
7 what's the exhaust of a jet engine. So, these temperatures  
8 are not out of its range. It is designed to be quite  
9 corrosion resistant in the presence of some of these nasties.  
10 Given the fact that the eruption duration for the Yucca  
11 Mountain volcanos is in this range, only five to 40 days when  
12 you're having the active stuff come up which is the  
13 requirement for being able to actually directly remove the  
14 waste package, this time is insufficient to corrode full  
15 thickness, 2 centimeters, of corrosion resistant material.

16       BULLEN: Have you done erosion corrosion analyses? I  
17 mean, this is going to be hot ash blasting by. It's not  
18 exactly like a jet engine plume when it's got these particles  
19 in it. That's another scenario where you might want to  
20 consider the package going away in a lot less than 5 days.

21       BARNARD: Well--

22       BULLEN: Oh, am I straight person for you? I'm sorry.

23       BARNARD: Well, right, you're up to 10 bucks today. No,  
24 I have not considered oblation and corrosion, but I have  
25 considered but there's more. I mean, this is a real Ginsu

1 knife performance here you're about to see. But, wait,  
2 there's more in a just a minute. Okay?

3           Essentially, as I'll show on the next slide, you  
4 can be assured of having the waste package breach if it is  
5 previously corroded by the steps which were discussed  
6 yesterday to roughly 50 percent of its thickness. Okay. So,  
7 the implication there is that you've got to wait a while  
8 before the volcanos that come up are going to have an effect,  
9 are going to be able to reach the waste packages. The  
10 failure mode is both corrosion and high temperature  
11 deformation; the stuff sags on you.

12           Before I get to that, I'm going to put up this  
13 picture. Okay. The corrosion rate, the red diamonds down  
14 here are the values which Jerry showed yesterday. Talk about  
15 a stretch; here's an extrapolation from the temperatures that  
16 they've worked with to the temperatures where we have to be  
17 for a volcanic eruption. In previous work in TSPA-93, we've  
18 looked at this once before and some work by Douglass and  
19 Healey back a few years before that made the general  
20 statement about an increase of  $10^4$  was seen in the corrosion  
21 rate for nickel based alloys in the presence of a simulated  
22 volcanic gas melting tests with basalt and simulated volcanic  
23 gases. And, so this gray blob here is  $10^4$  higher than this  
24 extrapolation.

25           Wang and Douglass did an analysis where they took

1 nickel 10 percent chrome, nickel 20 percent chrome, nickel 30  
2 percent chrome and exposed it at 800C, which was thoughtful  
3 of them, to simulated volcanic gases, sulfur, oxygen,  
4 hydrogen, carbon dioxide. And, lo and behold, the value that  
5 I calculate interpreting their weight gain results as a  
6 corrosion rate is this X here which is kind of a rewarding  
7 location for that to be. So, it looks like the value that  
8 we're using increasing an extrapolation of this by  $10^4$  is not  
9 out of the ball park for the corrosion rate of C-22.

10 I will mention that the analysis they did was on a  
11 simple nickel chromium alloy, a chromium mixture. C-22  
12 contains roughly 20 percent chrome, but they threw in 13  
13 percent moly and some tungsten and, undoubtedly, it's for  
14 enhancing the corrosion resistance. So, this point very well  
15 may be a conservative measure of what the corrosion rate is.

16 BULLEN: Again, Rally, one quick question. In your  
17 mechanical analysis, did you also look at pressure buildup in  
18 the can and the creep rupture equivalent of frag rupture? I  
19 mean, if you're at these temperatures of 1200C for five days  
20 with  $PV=RT$ , or at least I hope it still does, what kind of  
21 pressures do you develop inside the can and is that a creep  
22 rupture problem?

23 BARNARD: That is summarized in this viewgraph here.  
24 This is work by the waste package design guys. I just don't  
25 know how to thank you, Dan. This is work which summarizes

1 that of the waste package design people who have looked at  
2 over a lower range of temperatures, the gray bar there, all  
3 those effects. They are looking at simple temperature. They  
4 are looking at internal pressure. Essentially, what they  
5 find is that for more than 50--here's 50 percent degradation  
6 of the corrosion resistant material. For more than that, the  
7 critical stresses are such that the yield stress of the CRM  
8 will cause failure. So, 70 and 75 percent are a bad area to  
9 be in.

10           What I've done is another extrapolation based on  
11 the information I've gotten from C-22. Its liquidous  
12 temperature is 1350, at which point I said its tensile  
13 strength is pretty much zero and so here's an extrapolation.  
14 I suppose I could have gone like that, but essentially it  
15 isn't a big difference. To be conservative, if you have 50  
16 percent corrosion reduction, again good old 50 percent, in  
17 this environment, you have to consider that the waste package  
18 will deform of its own weight and so that defines the fact  
19 that, yes, indeed, we have breach. So, the conditions are if  
20 the waste package, the CRM, is half gone due to normal  
21 corrosion in some fashion, then if a volcanic event occurs,  
22 you consider the waste package to be breached.

23           Okay. You aren't done yet because if you have an  
24 open waste package, you still have not ejected these cute  
25 little radionuclides out of the waste package into the ash

1 stream. And, this becomes a fairly tough problem which lent  
2 itself to being analyzed by freshman physics. You look at  
3 particle kinematics, you look at momentum transfer, and you  
4 can come up with some arguments about what size particles can  
5 be ejected from a waste package based on the size  
6 distribution of ash or liquid magma particles that are coming  
7 by. The first thing you have to realize is the waste package  
8 you're talking about have the density of 11 grams per square  
9 centimeter. In contrast, the impinging material is very much  
10 lighter. So, momentum transfer is going to tell you it's  
11 going to take a lot of momentum to get these folks moving  
12 here.

13           We have a range of values for ascent velocities for  
14 both ash and for liquid magma and we have a distribution for  
15 particle sizes. And so, combining those, in essence, what we  
16 come up with is, depending on whether you want to talk about  
17 an elastic billiard ball ejection of a waste particle into  
18 the stream or an inelastic one where the waste agglomerates  
19 onto the moving ash, you're talking about roughly a ratio  
20 between the size of the waste particle and the size of the  
21 ash particle of either being the same or the ash particle has  
22 to be twice as big.

23           WHIPPLE: Excuse me, Rally, can I ask a quick question?

24           BARNARD: Sure.

25           WHIPPLE: Do you assume that the spent fuel turns into

1 fine particles when this process begins?

2       BARNARD: Yes. That is part of the distribution of  
3 waste particle sizes that are used. You start out with a 1  
4 centimeter cylinder of centered uranium dioxide, and by the  
5 time you get down to radiating it and dropping it a few times  
6 in transport and then hammering it with a volcanic eruption,  
7 we consider the range of sizes from .01 centimeter or it may  
8 be millimeters--I don't remember right now. But, pretty darn  
9 small to reasonably small, okay? So, there's a great supply  
10 of these small particles to be ejected and entrained.

11       BULLEN: Rally, quick question. Did you also convert to  
12 U308? Have you done the--

13       BARNARD: No. No.

14       BULLEN: So, you didn't do any chemistry, but you just  
15 did size distribution?

16       BARNARD: Chemistry, what's that? I'm talking freshman  
17 physics here.

18       BULLEN: Okay.

19       BARNARD: I mean, we've got to stick to freshman  
20 physics, okay? One thing at a time.

21               Okay. The next thing that can happen is--and this  
22 is a pretty standard calculation for the settling of  
23 xenoliths--I mean, your average volcanologist will do this  
24 calculation, the settling of xenoliths in an ascending ash or  
25 liquid magma stream. So, I stole that work in this case

1 using particles of either 11 grams per square centimeter for  
2 the elastically ejected waste or about 6 grams per square  
3 centimeter for an agglomerated particle to see what the  
4 conditions were for settling. Essentially, what it amounts  
5 to is if you have an ash flow where the ascent velocity is  
6 above 10 meters per second, anything will get carried up.  
7 Once it's kicked out of the waste package, it can be carried  
8 up.

9           Okay. So, we finally struggled through all these  
10 hoops here and--incidentally, I would like to inform people  
11 that the big thuds that you hear are not from me. It's from  
12 somebody at this table pounding because all these microphones  
13 are on and so that's why you get the noise. So, I'm  
14 innocent.

15           Okay. The waste is entrained to the surface in the  
16 ascending ash. That can happen. Then, the last step is the  
17 dispersal. Well, here's what the source-term analysis looks  
18 like. I had to do 300 realizations of this, Bob, because 100  
19 wasn't enough. As a result of that, 17 of them, less than 6  
20 percent, resulted in, having jumped through all these hoops,  
21 having a release of radionuclides at the surface which could  
22 be dispersed by the ASHPLUME model. Some of the realizations  
23 were eliminated because the dikes didn't intersect the  
24 repository. There was a small probability that the  
25 orientation of the dike, when we're talking about it starting

1 at the western edge of the boundary, was actually pointed to  
2 the northeast so the dike was going off in the wrong  
3 direction. Some of them had zero length in there. Another  
4 thing is that the repository, as you saw the map of the Yucca  
5 Mountain region, the repository represents a pretty small  
6 area in the whole region. So, in many cases, although there  
7 may be up to five vents which occur along any given dike,  
8 none of them happen to be inside the repository. So, that  
9 hurt when you were trying to get waste lobbed down on the  
10 Mirage Hotel, also.

11           In almost every case, the ascent velocity of the  
12 liquid magma was so low that it either couldn't eject the  
13 particles or they would settle faster than the ascent  
14 velocity. So, they weren't released. So, what we're looking  
15 at is those cases where the fragmentation depth was below the  
16 repository and you had this ash blast going by. It turns out  
17 that one of the biggest hoops to jump through was the fact  
18 that it takes about 400,000 years before you can count on the  
19 corrosion resistant material being reduced to 50 percent of  
20 its thickness in order to be able to breach the waste  
21 package. In my analysis, I used only the 100 percent  
22 dripping cases, rather than the no dripping cases, because  
23 when I used that, you find that your range is in the 400 to a  
24 million year range. If you take the case where there's no  
25 dripping, it starts at about 800,000 or 900,000 and you don't

1 get any releases, at all, essentially. It's no fun. So,  
2 that's why I didn't do that.

3 SAGÜÉS: Excuse me, Sagüés.

4 BARNARD: Yes?

5 SAGÜÉS: Yesterday, we heard about, what, 30 percent of  
6 the packages were supposed to be in a dripping--would that  
7 cap down your 6 percent then to a 2 percent?

8 BARNARD: Yes. Yes. I'm going to have to give him five  
9 bucks because--let me just mention that the volcanic has been  
10 done before, but not in this detail. We have developed some  
11 fairly sophisticated models now for waste package degradation  
12 and this model is coming along in a sophistication, but it  
13 was definitely developed independently of the model for waste  
14 package degradation and, as you'll see with seismic, it's  
15 ever more important there. The next step will be if we  
16 decide to pursue events like this, disruptive events, is to  
17 integrate these models so that exactly the type of point that  
18 has been made about the number of each type that is occurring  
19 will be reflected in the source term for volcanic, and even  
20 more importantly, as I'll show, the source-term for seismic.

21 BULLEN: Rally, one of the other things we learned  
22 yesterday was that when it does fail, it fails by pinholes  
23 which probably wouldn't have any impact on any of the  
24 entrained waste because I doubt that you'd get a submicron  
25 sized particle in and out at the velocities necessary to

1 raise it up--the plume up.

2       BARNARD: I just don't know what to do without you, Dan,  
3 because it's one thing that I meant to mention. The ground  
4 rules for the groundwater flow are that all you need is one  
5 pinhole. I think you can see that to mechanically remove  
6 waste from the waste package requires a much bigger hole--in  
7 fact, you really have to rip the waste package open--that's  
8 beyond the bounds of what their analysis is. I attempted to  
9 incorporate that a little bit, but it's strictly qualitative.  
10 So, essentially, all the numbers that we have for that first  
11 patch failure probably can be multiplied by a considerable  
12 amount to a longer time in order to reflect what it takes to  
13 really rip open the waste package.

14             Let me discuss the ASHPLUME analyses. The ASHPLUME  
15 code can be run in both the stochastic and the deterministic  
16 fashion. In the stochastic fashion, it rolls the dice a  
17 number of times and comes up with different realizations for  
18 eruption parameters and waste particle sizes and so forth  
19 like that. Essentially, all that stochastic information in  
20 source-term was done previous to this. So, we ran it in the  
21 deterministic fashion. We used exactly one set of parameters  
22 to see where the ash would be dispersed to. The wind  
23 direction and speed which are very important for ash  
24 dispersal were stochastically selected for the 17 runs. Nine  
25 of the cases had the wind blowing to the north. When the

1 dose receptor point is due south--I guess, this is a  
2 metaphysical question that the DOE is going to have to answer  
3 whether anybody is in trouble to the south if the wind is  
4 blowing to the north from this volcanic eruption. We counted  
5 those also, but I don't know how to score them in the terms  
6 of this poor person in the Amargosa Valley.

7           This is kind of a neat picture. So, I'll put it  
8 up. It's the Wind Rose. This is taken from the Center's  
9 analysis of wind velocity and direction and frequency over a  
10 number of years at the Yucca Mountain site. So, this is what  
11 we can use. As you can see, the blue here is the fraction of  
12 the time that the wind is blowing in a direction and, as you  
13 can see, to the south is a high frequency time period.

14       PARIZEK: That wind direction, is that--

15       BARNARD: Yes. That is something that I just have not  
16 considered, at all, but it would be a good point to consider  
17 to see if there is any significant difference.

18           Okay. After all this work, here's what the results  
19 look like. This is the base case peak dose expressed in  
20 mrem. And, here's the volcanic results, peak does again. In  
21 order to get this curve, you remember 300 realizations were  
22 run. So, I made the assumption that 300 times a volcano came  
23 up in the Yucca Mountain region, and of those numbers, 17  
24 resulted in direct releases. The last step in the process is  
25 to multiply by the probability that a volcano is going to

1 occur there, at all. That is the primary output of the PVHA  
2 and that work came up with a maximum frequency of occurrence  
3 of about  $10^{-7}$  per year and a minimum of  $10^{-10}$  or something with  
4 a mean of about  $10^{-8}$ . The NRC feels that the  $10^{-7}$  number is  
5 the one that they like a little better. So, in deference to  
6 those guys, I multiplied my conditional CCDF by  $10^{-7}$  times  
7 over a million years which is  $10^{-1}$ . And so, this is the  
8 number that I come up with for the peak dose. This is on a  
9 logarithmic, a log-log plot, and it doesn't take a  
10 mathematical genius to see that this is going to contribute  
11 absolutely nothing to the base case releases.

12           This is the point where if I had a summary slide,  
13 it would be in there and this would be the point where  
14 everybody would jump on me and start asking questions from  
15 the Board. So, pretend there's a summary slide up there in  
16 case you guys want to ask questions because, otherwise, I'll  
17 move on to seismic.

18       BAHR: Rally, you'll probably like this scenario even  
19 better. Freshman fluid mechanics would suggest that if you  
20 have a magma that reaches a repository horizon which is  
21 already a zone of higher permeability that the magma would  
22 flow laterally through the repository horizon rather than  
23 continuing up through the mountain.

24       BARNARD: Yes. We are aware of that. That is taken  
25 into account in the enhanced source-term model and I haven't

1 finished those analyses, but there are going to be many,  
2 many, many more instances of the 300 that I have; not merely  
3 17 will qualify for that. Many more will qualify for that  
4 and so that source-term will look considerably different.

5           The one thing that I need to point out that we're  
6 well beyond freshman fluid mechanics, and this one is crack  
7 propagation. The method by which a dike intrudes and  
8 actually ascends to the surface is by crack propagation.  
9 And, any of you machinists in the crowd know that if you have  
10 a crack propagating through a piece of metal, the way you  
11 stop the crack is you drill a hole right at the tip. So, I  
12 think you can easily envision that the combination of a crack  
13 rising up reaching this hole in the tip, which is what the  
14 drift is, very well could stop the further ascent of a  
15 conduit, a dike. So, this is one thing we have not yet  
16 analyzed, but it may turn out to make this whole thing an  
17 extreme conservatism as to whether there will be eruptive  
18 releases at Yucca Mountain. It's something that we will be  
19 looking into once the dust settles on VA. It was a chance to  
20 have kind of an excursion to talk about that, but--

21       BAHR: Okay. Anyway, I think that may be the more  
22 realistic scenario, in which case your magma is going to  
23 intersect most of your waste packages or a large number of  
24 them because it's going to be--

25       BARNARD: Yes, but it's unlikely that there will be any

1 surface releases from them.

2       BAHR: --but you do have an enhanced source-term. I  
3 have one question about your flow chart and maybe some of  
4 your text suggests that this is not correct. But, in a few  
5 cases, you say that--for example, as I'm going down here,  
6 you've got magmatic dike intrudes the repository, no, no  
7 performance assessment consequence. Dike intrudes directly--  
8 directly contacts waste package, no, no performance--it would  
9 seem like in both of those cases that there might be a  
10 thermal effect that would affect the source-term. And, in a  
11 couple of other places, you do say model is an enhanced  
12 source-term scenario. It would seem like you should be  
13 modeling an enhanced source-term scenario even in the cases  
14 when it doesn't necessarily intrude directly into the  
15 repository, but near enough to affect the thermal regime in  
16 the mountain or when it intrudes into the repository, but  
17 doesn't contact the waste. Again you'd have a thermal  
18 effect. And, that's not explicitly on your flow chart there.  
19 Maybe that's just an oversight.

20       BARNARD: No, the shorthand on this reflects what we did  
21 in TSPA-93 which was precisely what you've talked about where  
22 we did look at the thermal and, as I mentioned previously,  
23 the gas, but not immersing the waste packages in magma.  
24 Okay? In that case from TSPA-93 results, we found that there  
25 was essentially no measurable effect. So, there would be no

1 PA consequences of having that occur.

2       BAHR: And, I don't think you had the same thermal  
3 models for the mountain in '93 that you have now.

4       BARNARD: Well, that's true.

5       BAHR: It would seem like you'd need to update--

6       BARNARD: It would not be a major change to include that  
7 and actually the analyses we're doing may include some of  
8 that, but primarily it's going to be immersion of waste  
9 packages in liquid magma and in a pyroclastic ash flow in the  
10 drift.

11       BULLEN: Other questions from the Board or the Panel?

12       (No response.)

13       BULLEN: Questions from the staff? Leon?

14       REITER: Rally, there are many countries around the  
15 world, industrialized countries, that have volcanic activity;  
16 Japan, Iceland, Italy. Do we have any experience or analysis  
17 of these kinds of events in those countries; namely, not the  
18 dispersal of ash, that's done routinely in lots of places.  
19 I'm talking about the intersection of some sort of facility  
20 with either eruptive columns coming up or with dikes or some  
21 unique analysis? Maybe somebody else in the audience knows  
22 the answer to that. I don't know.

23       BARNARD: Being that I am not a volcanologist, this is  
24 not an area I have pursued, but in talking with Greg and  
25 Frank and a few other people, I relied on their knowledge to

1 have included that if that information was available. So,  
2 that may be not a good answer. The answer is, no, I haven't  
3 considered it, and it has not been brought to my attention by  
4 the experts. So, I guess, the complete answer is no. But, I  
5 will certainly check with them and ask them whether they have  
6 considered that in what they've provided to us.

7 BULLEN: Other questions?

8 (No response.)

9 BULLEN: Do you want to continue Rally?

10 BARNARD: Okay. Moving right along, seismic. The  
11 primary disruption that we're going to be talking about is  
12 expected to be from rockfall. Other possibilities are water-  
13 table rise, seismic pumping, and refocusing of the  
14 unsaturated-zone flow. This one was actually talked about  
15 yesterday. It might be possible for us to include that, but  
16 based on prior analyses, it looks like these are either  
17 short-term or low PA impact events. So, the focus of TSPA-VA  
18 was to look at rockfall. Rockfall can occur from either  
19 thermo-mechanical or seismic effects. The seismic is  
20 certainly a lower probability, we think, than the thermo-  
21 mechanical. I say we think because the work on thermo-  
22 mechanical is developing and it may or may not provide a  
23 large indication of rockfall.

24 So, here's the scenario. You have seismic events  
25 or thermo-mechanical events causing rocks to fall from the

1 ceiling. The rocks hit the waste package or they don't. The  
2 rock ruptures the waste package. If it ruptures the waste  
3 package, then we have an immediate breach which can occur  
4 possibly at an earlier time than would have occurred from  
5 normal corrosion activities. What we look at then is an  
6 enhanced source-term of groundwater radionuclide transport  
7 and so the performance assessment consequence of this is the  
8 same one as is for the base case. We look at the dose at the  
9 receptor site.

10           Maybe the rock doesn't actually rupture the waste  
11 package, but just damages the waste package. It could be  
12 hard enough to ding it, but not to break through it. If it  
13 doesn't do that, then we consider the waste package has not  
14 been affected by rockfall and the base case strictly applies  
15 there. If it is, then we consider that the waste package  
16 corrosion increases at the site of the damage. This is an  
17 area which we're developing in the WAPDEG, waste package  
18 damage code to look at means of modeling an increase in  
19 localized corrosion that occurs as a result of damage like  
20 this. If we don't have localized corrosion, we will just  
21 model this as the base case, and if we do, we look at the  
22 increase in waste package failure time that will result in a  
23 changed source-term.

24           Rockfall that is initiated by a seismic event, in  
25 the model that we're using is determined by the peak ground

1 velocity and that will determine the extent of the rockfall.  
2 Rock ranges in its competency from weak rock, very weak rock  
3 which essentially is gravel that might just barely be stuck  
4 in the roof of the drift to very competent rocks with very  
5 few fractures in them and it looks like it's going to stay up  
6 there forever. Now, if you had a seismic event, the weak  
7 stuff is very likely to fall, but it's all going to be small  
8 rocks. If you finally get a seismic event big enough to  
9 bring down a big rock, that may be a very rare event, but  
10 when it falls, it can be a doozer. So, the much more  
11 competent rock is the one that has the biggest potential for  
12 actually causing waste package damage as a result of falling.  
13 The damage caused by rockfall depends on impact, the  
14 distance that the rock falls from the ceiling of the drift  
15 down to the waste package. Throughout this entire analysis,  
16 we magically have a drift which has remained open and  
17 contains no rubble for 1,000,000 years. It's quite a  
18 simplification and I think that we may want to reconsider  
19 that, but you don't have rockfall damage occurring when you  
20 have a drift that's already half full of rubble because you  
21 mitigate the impact so much by the rocks that have already  
22 fallen down to the bottom.

23           What we have from the analysis by the waste package  
24 design people is the minimum sized rock that can breach a  
25 waste package, split it open like a coconut, or the minimum

1 sized rock that will just barely dent it; anything bigger  
2 will make a bigger dent in the waste package. It's these  
3 latter ones which are used for calculating the enhanced, the  
4 increased waste package corrosion, localized corrosion. As  
5 the waste package gets thinner, as the corrosion allowance  
6 material and then the corrosion resistant material corrode  
7 away, it's going to take a small rock to cause damage. For  
8 example, when you have a virgin waste package down there, it  
9 requires a 38 metric ton rock to fall on the waste package to  
10 split it open. That's a big one. When you finally get down  
11 to having corroded away all the corrosion allowance material  
12 and you only have the CR in there, it only takes a 350  
13 kilogram rock falling on the waste package from that same  
14 height to split it open.

15       PARIZEK: --here about juvenile failures that we've been  
16 hearing about. These are babies that just arrive in the  
17 repository. Would that also be true with the rockfalls on  
18 juvenile failure? Are those prone to juvenile failures?

19       BARNARD: Yes. In order to help provide a  
20 justification, if you will, for juvenile failure, I looked at  
21 rockfall which occurred in the first 10,000 years and tried  
22 to see if those could be contributors towards juvenile  
23 failure. The finding was that because the waste package is  
24 so robust and the sizes of rock available are the sizes that  
25 look like they're there, until about 8,000 or 9,000 years

1 it's very unlikely that you'll get any waste package failures  
2 due to rockfall that you could attribute as juvenile  
3 failures. Let's see, have I covered everything there? Yeah.

4           Okay. Here's a curve of peak ground velocity.  
5 This was developed by the people working on the probabilistic  
6 seismic hazard analysis at Risk Engineering. It is an  
7 interpretation of the PSHA information provided on the peak  
8 ground acceleration. It's expressed as an annual probability  
9 of exceedence. So, at the  $10^{-3}$  level, you can see that you  
10 have a peak ground velocity of around 10 centimeters per  
11 second. The interpretation of the annual probability of  
12 exceedence is that its inverse,  $10^3$ , means that every  
13 thousand years,  $10^3$  years, you would have a peak ground  
14 velocity of 10 cent--an earthquake resulting in a peak ground  
15 velocity of 10 centimeters. You can see that by the time you  
16 get down to  $10^{-6}$  or million years, you're out in the hundred  
17 centimeter for the median, and the 85th percentile, the one--  
18 is up 300 or so centimeters per second.

19           BULLEN: A quick question on that one, Rally. Is this  
20 peak ground velocity at the repository horizon or peak ground  
21 velocity at the surface of the earth?

22           BARNARD: There are four points at which the PSHA  
23 analyses were done. This is actually at what's called Point  
24 A which is a rock outcropping at the elevation of the  
25 repository, but out in free air. It does not include the 300

1 meters of overburden which is Point B. And, actually, I'll  
2 just ask Robin to tell me what's going to happen. At Point  
3 B, it's going to be less or is it going to be more at PGV?

4 MCGUIRE: Point B would be at the actual repository  
5 elevation which has the top 300 meters of tuff added back on.  
6 The velocities there would be lower than at Point A which is  
7 a hypothetical rock outcrop with that top 300 meters of tuff  
8 stripped off. So, it's a hypothetical outcrop for Point A.  
9 Point B is at the actual repository horizon with the 300  
10 meters added on.

11 BARNARD: Oh, and the other thing I did is these are  
12 actually horizontal PGVs. Gabe Toro of Risk Engineering said  
13 that the standard procedure is to take two-thirds of that for  
14 vertical. So, that is another factor that I included.

15 But, what I wanted to show down here is some  
16 empirical work that was done by Kaiser, et al., in the mining  
17 district in Ontario where they developed a measure of, what  
18 they call, damage levels, these DLs, as a function of peak  
19 ground velocity. And, peak ground velocity can depend on the  
20 type of rock that's--or, excuse me, the damage level that you  
21 measure can depend on the type of rock that you're talking  
22 about falling. And so, I am considering here this is for  
23 medium quality to high quality rock. DL3 would imply  
24 moderate damage and that would mean that you would have  
25 sufficient shifts along joints that you would have the

1 probability of falls of loose rock here. You could have more  
2 serious falls here. And, finally, up here, you can have  
3 complete tunnel collapse is their measure. I want to  
4 emphasize that damage in this case does not mean waste  
5 package damage. This is their term for the amount of rock  
6 that falls and they're calling that damage. So, there could  
7 be a little bit of confusion and I'll try to point out that  
8 that's not what we're talking about with these damage levels.  
9 But, remember damage levels because they turn out to be kind  
10 of important.

11 NELSON: Did Kaiser develop this in the context of a  
12 size effect in terms of the tunnel diameter when these damage  
13 levels kick in?

14 BARNARD: John, do you know the answer to that one? I  
15 have a whole cadre of experts since this is not exactly my  
16 field. This is John Kemeney from the University of Arizona  
17 who has worked on this.

18 KEMENEY: Peter Nelson took into account lots--the four  
19 different effects, the quality in the rock, whether or not  
20 there was falling occurring at the time of the seismic event,  
21 and the stiffness of the--which sort of affected the room  
22 that maybe you're thinking of if you have a number of  
23 openings together, it would be more squishy--and also the  
24 effect of any kind of support. But, size specifically wasn't  
25 taken into account, but it's sort of taken into account in

1 the stiffness effect that we had. So, there's four  
2 parameters and that was used as part of the analysis.

3       BARNARD: This is another presentation of some of the  
4 information you saw yesterday. Here, we have the corrosion--  
5 the fractural wall thickness is a function of time for the  
6 corrosion allowance material and the corrosion resistant  
7 material. As I mentioned, I'm only looking at the dripping  
8 case here because for the corrosion resistant material in the  
9 dry case, it's beyond the million years for a lot of it. So,  
10 what you can see is that our magic 50 percent point on CRM is  
11 coming way out here in the 7 or 100,000 or so range, but in  
12 contrast, the corrosion allowance material can be 50 percent  
13 or more gone in 10,000 to 20,000 years.

14       Combining this information we have on the thinning  
15 rate of waste packages with the information we have on the  
16 critical rock mass that can damage a waste package gives us  
17 the plot down here. So, now, we see the mass to just bonk  
18 the waste package enough to start localized corrosion ranges  
19 from 8,000 kilograms in 8 ton rock at virgin waste package,  
20 an undamaged waste package, or out to about 1,000 years  
21 falling to 2500 and so forth like that. And, out beyond  
22 about 10,000 years, you can pretty much forget about the  
23 corrosion allowance material. It's just gone for being  
24 robust enough to prevent much in the way of waste package  
25 damage. Here, notice the break in the scale up here, 38,000

1 kilograms for a package that contains--still consists of 100  
2 percent of its corrosion allowance and 100 percent of its  
3 corrosion resistant material down to, as I said, about 350  
4 kilograms. And, when you only have 50 percent of the  
5 corrosion resistant material left, that's all that's left,  
6 and it takes only a 50 kilogram rock to slit it open.

7       BULLEN: If you put that one back up for just a second,  
8 it sure looks like if you didn't have the corrosion allowance  
9 material going away, you wouldn't have much problem. So, any  
10 consideration to lobbying the designers and saying let's flip  
11 the barriers and let corrosion resistant material be there  
12 forever, the corrosion allowance isn't going to corrode on  
13 the inside, and so you're out to a million years and we don't  
14 have to worry about rocks falling? Did you talk to the  
15 designers about that or is that not a purview of your  
16 analyses?

17       BARNARD: Oh, I wouldn't dream of talking to the  
18 designers about that. They make enough trouble for us  
19 already with changes.

20       BULLEN: Well, it might be one of those things you want  
21 to discuss because it sure looks like the problem goes away  
22 if you want to take credit for it.

23       BARNARD: Yeah, it also could be that just increasing  
24 the thickness of the CRM might help also.

25       BULLEN: Yeah, but that one looked like it would cost

1 you some money as opposed to flipping the barriers might not  
2 be a big cost differential.

3 SAGÜÉS: Excuse me. Those assumptions also are all  
4 considering uniform corrosion of the corrosion resistant  
5 material, right?

6 BARNARD: Yes. Uniform corrosion and the question about  
7 what happens if you have a fully corroded patch as is the  
8 model and the rock happens to fall on that is one that I have  
9 not considered. So, I am looking at uniform corrosion until  
10 the rock falls and then we look at localized corrosion to  
11 see--and then, we're looking for a patch opening up in more  
12 rapid fashion as a result of the damage.

13 SAGÜÉS: I would assume that the high aspect ratio of  
14 pitting would have a negligible effect on the mechanical  
15 strength?

16 BARNARD: I would think so, although that's nothing that  
17 I have yet considered in the model.

18 WHIPPLE: Jean and I have been doing high school  
19 arithmetic over here.

20 BARNARD: Yeah, well, we have freshman physics; let's  
21 have some high school arithmetic.

22 WHIPPLE: I'm just curious about by working simple  
23 geometric units for a spherical rock, your 35 metric ton rock  
24 is 2 meters larger in diameter--actually, in radius than your  
25 drift is in distance.

1           BARNARD: We don't have to worry about that one, okay?

2           WHIPPLE: I was just wondering how you got it to fit?

3           BARNARD: Well, I'm going to owe you five bucks, too.

4                    Here is a plot of the distribution of block sizes  
5 that have been inferred in the survey in the ESF of joint  
6 spacing. This was done by John Pye of the M&O and  
7 interpreted by him and provided to me. What I've done is I  
8 have been to this histogram according to the sizes of the  
9 critical rock masses. If you look really closely, you'll see  
10 that there's no 38 metric ton rocks to be found in there.  
11 There's no 24 metric ton rocks to be found in there. This is  
12 for the TSW zone only and they didn't even find any 8 metric  
13 ton rocks. You manage to get one at 3500, but most of them  
14 you see are down here in a considerably smaller size. So,  
15 what we first established is the size of rock which is  
16 required to fall on the waste package to do the damage. Now,  
17 we look and see whether any of those rocks are available for  
18 falling. And so, that's what this shows.

19                    When you combine that information--

20           NELSON: Let me just ask one question. In obtaining  
21 that plot, were there also sections of tunnel that, in fact,  
22 did not have blocks available for falling because of the  
23 joint-frequency study? Do you know what I mean? Cases where  
24 the jointing was not intense so that there really were no  
25 blocks that would fall, in which case how was that

1 observation counted in the size distribution?

2       BARNARD: I am sorry. I do not know the answer to that  
3 part of the analysis.

4       KEMENEY: I do know that biggest block is from the  
5 biggest joint spacing that they found along the tunnel. So,  
6 there was one case where there was a joint spacing of a  
7 couple meters thick and that represents that one biggest  
8 block. That's where it came from. So, the block sizes come  
9 from the--derived from the joint spacing.

10       BARNARD: And, the way they arrived at 38,000 kilograms  
11 was by doing a finite element analysis on a model waste  
12 package. This is the size block which caused the--what do  
13 you call it--the margin of safety to be sufficiently low that  
14 for engineering purposes they considered that it would be a  
15 failure. So, that's where that number came from.

16       Okay. I'm going to wrap this up in just a second  
17 by talking about exactly what the analysis looks like. What  
18 you do is you start by randomly picking a time of occurrence  
19 which will lead to getting a peak ground velocity which will  
20 give you the rockfall characteristics. The greater the PGV,  
21 the larger the rocks that fall. Knowing the time of  
22 occurrence, you can figure out the extent of waste package  
23 degradation. So, you know the minimum size rock that can do  
24 damage. When you sample from the rock size distribution,  
25 you'll determine the nature of the damage that's done and

1 then you pass this off to the WAPDEG calculation that is  
2 going to give the source-term to RIP.

3           The results of what is passed off to WAPDEG is  
4 shown here. The analysis were done and stratified by hazard  
5 level because both the waste package wall thickness and the  
6 PGV are essentially correlated because they're both driven by  
7 time. So, what we see is that in 1,000 years, hazard levels  
8 less than  $10^{-3}$ , in other words in the first 1,000 years, no  
9 packages are breached and no packages are damaged. That's  
10 because the wall thickness is too big and the predicted  
11 earthquake is too small. You have a PGV of less than 10  
12 centimeters per second. In the 1,000 to 10,000 range, we  
13 still aren't able to reach the waste packages and we get a  
14 tiny number which are damaged. Finally, in the 10,000 to  
15 100,000 range, roughly 17 percent of the waste packages are  
16 breached and 1 percent or so of them are damaged.

17       WHIPPLE: No, those numbers have to be reversed. No?

18       BARNARD: No. I don't have time to explain it, but  
19 you're looking for a narrow window because what it takes to  
20 split the thing open and it's too small to do any damage.  
21 There's a narrow window dependent upon the analysis they did  
22 for--you remember those two curves of critical rock mass  
23 versus time--it gets really thin down at the end. So, that's  
24 why there's a small number there.

25           The other thing to consider is although Bob's and

1 other people's visualization of the drift for the waste  
2 packages in them made the thing look like an LA freeway from  
3 cheek to jowl all jammed together, there's really roughly  
4 only 40 percent of the linear distance along a drift occupied  
5 by a waste package. Almost two-thirds of it or 60 percent is  
6 empty space. So, when a rock falls, it has a 60 percent  
7 chance of falling into empty space and not falling on the  
8 waste package. This is taken into account in these numbers.  
9 And so, you can see that finally when you get out to the  
10 100,000 to million year range, now about 30 percent of the  
11 waste packages will be breached by rocks falling and actually  
12 hitting them and still a very small number are damaged.  
13 Overall, over a million years, about 12 percent of the waste  
14 packages are damaged.

15           At this point, I do not have the WAPDEG results to  
16 show you. So, we'll pretend I have a summary slide up here  
17 and I'll try to entertain questions.

18           BULLEN: Just a quick question, Rally. Your data for  
19 the ESF is joint frequency for that, but one would assume  
20 that, as you got out into the repository horizon and you got  
21 data from the ECRB, you would have a different joint-  
22 frequency distribution and so you could get a different  
23 probability of rockfall?

24           BARNARD: Yes. What I showed you in that histogram was  
25 actually from the TSW portion. There is a different

1 histogram for the entire joint-frequency that I didn't show.  
2 I am aware of the differences and, as we get new data, those  
3 will be incorporated.

4 BULLEN: Your analyses also have--should have some  
5 effect with respect to tunnel size, right? I'm thinking of  
6 the Jim Blink diagrams now where the rocks seemed to fall and  
7 it looks pretty nasty--

8 BARNARD: Yeah, this, I am not taking into account.  
9 But, as those data become available--or, I mean, as we decide  
10 to model those, we can do it.

11 BULLEN: I was just wondering about the reverse analyses  
12 that says maybe if we make smaller tunnels, we won't have to  
13 worry about this after a million years. Have those kind of  
14 thought processes been involved in the analyses?

15 BARNARD: No, they have not. I should mention that  
16 seismic rockfall, this is the very first time this analysis  
17 has been done and it was done in isolation from the base case  
18 waste package degradation. I think it's abundantly clear to  
19 people that what needs to be done next is to incorporate  
20 rockfall into the standard base case analysis because then  
21 we'll have the specific failure of different groups of  
22 packages and different locations and you can apply the PGV,  
23 and thus, the potential for rockfall to those packages and  
24 integrate it much better. So, next time around, this is the  
25 way this will be presented.

1 BULLEN: You just answered my next question because I  
2 wanted to know what future work you were going to have.

3 BARNARD: Now, you know.

4 BULLEN: So, that's the summary.

5 Questions from the Board? Nelson?

6 NELSON: Not so much a question as a comment. I've been  
7 looking for this kind of an analysis, early though it is,  
8 ever since I got on the board and I'm very delighted to see  
9 this and hope that it will continue to an analysis of the  
10 non-seismic related rockfall situation.

11 BARNARD: Yes, I'm sorry, I didn't have time to go into  
12 that.

13 NELSON: Of course. And, please, when results are  
14 available and as the model evolves, the Board is very  
15 interested in hearing about it.

16 PARIZEK: Of the four scenarios for disruptive events,  
17 you've mentioned two.

18 BARNARD: Yes.

19 PARIZEK: There's two more; the human intrusion and, I  
20 guess, criticality. That's somewhere else or will that be  
21 also in a TSPA--

22 BARNARD: Do I have time to say anything about that?

23 BULLEN: Two minutes.

24 BARNARD: Two minutes, okay.

25 PARIZEK: I'm sorry I brought it up.

1           NELSON:  You've got to pay him now.

2           BARNARD:  Criticality is essentially a function of the  
3 following.  You have to have the waste package fail really in  
4 a special fashion; namely, by having the top fail rather than  
5 the bottom because that will give you a bathtub to hold the  
6 water which is the moderator for commercial spent nuclear  
7 fuel.  The next step is to remove the neutron absorbers which  
8 are placed in there specifically to keep criticality from  
9 occurring.  Generally, it's boron and boron is soluble.  So,  
10 it is possible to do.

11                   There are three locations for criticality that you  
12 can have; in-package, near-field, and far-field.  Of the  
13 three, the one that looks the most likely is in-package  
14 because you have the fissile material there.  You don't have  
15 to reconcentrate it by some geological process at a later  
16 time.  In the case of commercial spent nuclear fuel, it's  
17 largely in a physical configuration which lends itself to  
18 criticality because that's what it was supposed to do when it  
19 was in the reactor.  So, adding water and removing the  
20 neutron absorber and a few other things of that nature,  
21 making sure you have enough moderator, will according to the  
22 analysis done by the waste package people, produce a  
23 criticality.

24                   The probability of that occurring, there's at least  
25 as many hoops for that as were required for the direct

1 volcanic release. What they find is that it is not out of  
2 the bounds of reality and could occur, but the likely  
3 increase in fissile fission products and other fissile  
4 products is about 25 percent for a 10,000 year criticality  
5 starting about 15,000 years out. Okay? It turns out that  
6 the waste packages most susceptible to criticality are those  
7 with low burnup, but having an initial enrichment of the 3 to  
8 5 percent, but happen to have low burnup. They also are the  
9 ones that release fission products. So, they contributed  
10 originally the least number of radionuclides to the  
11 inventory. So, it almost washes in that those which  
12 originally contributed very little in the way of radionuclide  
13 inventory are contributing the most in the case of a  
14 criticality. If you have 55 gigawatt day burnup fuel, there  
15 probably isn't enough U235 there available to sustain an  
16 criticality. It is possible to have a near-field criticality  
17 if somehow you have the bathtub, you dissolve everything very  
18 nicely, and then the bottom fails like a dump truck and it  
19 dumps out in the drift and somehow manages to form a critical  
20 configuration. Fairly unlikely. So, for the analysis for  
21 TSPA-VA, we're going to do a single example calculation,  
22 essentially what I described.

23           Human intrusion--the last thing, this will just  
24 take one minute. This is one which is a stepchild of the  
25 analysis in that we are not supposed to include the

1 probability of occurrence because if you want to tell me the  
2 probability of future human technology and behavior, please  
3 do and I'll use it. Okay? So, what we're doing is we're  
4 looking at a waste package that magically is drilled through  
5 by some driller. He drills onto the saturated-zone,  
6 magically a bunch of waste falls down through the hole into  
7 the saturated-zone where it theoretically can be directly  
8 transported by saturated-zone advection to the dose receptor  
9 point. It turns out the spent fuel dissolution model which  
10 was discussed yesterday is a function of oxygen and carbonate  
11 and temperature and so forth like that and saturated-zone  
12 conditions are much less conducive to dissolution than are  
13 UZ. So, if we use UZ saturation rates, we will bound the  
14 problem with a much higher dissolution rate than we expect.  
15 What we will do is to use RIP here, and instead of having a  
16 UZ transport model bringing us a distribution down to here,  
17 we will have essentially a spike release based on having bare  
18 CSNF, commercial spent nuclear fuel, in the saturated-zone  
19 which can be transported by RIP and convolved against the  
20 saturated-zone breakthrough curve.

21           Thank you.

22           PARIZEK: I had one other question regarding the diagram  
23 you had on your left which showed the groundwater impact part  
24 of it. Now, part of it from the--analog you just used, that  
25 would be one example. But, in terms of the dike emplacement,

1 is it possible that we had, say, canister failures, we have  
2 the unsaturated-zone with some radionuclides, groundwater has  
3 some, the dike approaches that environment to reflux that in  
4 the form of steam to bring that back through the atmosphere  
5 because you have all of the gases that you mentioned as your  
6 nasties list and some of that's obviously going to be brought  
7 back to surface. Is that going to be in the analysis or the  
8 thought process?

9       BARNARD: It is not yet. We can look at that and see if  
10 it looks credible and possibly include it.

11       BULLEN: A quick question on criticality followup. Is  
12 your analysis going to include DOE spent nuclear fuels,  
13 specifically aluminum clad degradation, or--

14       BARNARD: Yes. Yes, it is. You only gave me two  
15 minutes. So, I couldn't talk about that. There's also  
16 plutonium and--

17       BULLEN: Right. That's a yes/no question. Yes is fine.  
18 That's sufficient.

19       BARNARD: DOE fuel, it will be to cover it the best we  
20 can in our example calculations.

21       BULLEN: Don't go away yet, Rally, because I've got to  
22 ask everybody else. Any other Board questions?

23       (No response.)

24       BULLEN: Panel? Chris Whipple?

25       WHIPPLE: Rally, from the seismic hazard analysis you

1 presented, you've got frequencies of ground motions. You can  
2 relate ground motions to the rock size and probability of  
3 falling. It strikes me that with that analytical framework,  
4 you could calculate the curves on the distribution with time  
5 of the buildup of fallen rock in the drifts and come up with  
6 probability distributions for that.

7 BARNARD: Uh-huh.

8 WHIPPLE: Has that been done and, if so, how long do you  
9 find that it takes for earthquakes to backfill the drifts for  
10 you?

11 BARNARD: I have not done that calculation. It may be  
12 just due to time pressures, we will not be able to do it, but  
13 it looks like a very useful calculation to make for future  
14 analyses because, as you heard, there's a fairly big stretch  
15 for me to consider the drift to be open for a million years  
16 for these analyses. If we knew this better, it could be used  
17 for the thermohydrologic calculations and a number of other  
18 base case calculations.

19 WHIPPLE: Well, it probably affects your corrosion  
20 calculations.

21 BARNARD: Oh, yes.

22 BULLEN: Other questions from the Panel?

23 BAHR: Yeah, I guess, just along the same lines, if you  
24 have a lot of rockfall and you've backfilled your drift and  
25 you've changed the geometry of the upper surface of the

1 drift, that should seem to have some feedback into your  
2 dripping model. I understand that that hasn't been  
3 incorporated, at all.

4 BARNARD: We recognize its existence, but have not  
5 included it in TSPA-VA.

6 BULLEN: Any other questions from the Panel?

7 (No response.)

8 BULLEN: Questions from the staff?

9 (No response.)

10 BULLEN: If not, thank you very much, Rally, and I  
11 appreciate you switching places with Cliff here.

12 Our next presentation is going to the traceability  
13 analysis example and the presentation will be made by Cliff  
14 Ho also of Sandia National Laboratories. Cliff, it's all  
15 yours.

16 HO: As Dan just introduced, my name is Cliff Ho and I  
17 work at Sandia National Laboratories with the M&O. I'm  
18 primarily responsible for helping to integrate many of the  
19 unsaturated-zone hydrology activities. However, today, I'll  
20 be speaking on a somewhat different, although related, topic  
21 and that is traceability for TSPA-VA.

22 Now, yesterday, we heard a number of technical  
23 presentations and this morning on the analyses and the  
24 results and the bases of our VA calculations. But, in  
25 addition to providing you with the technical content and

1 defensibility of our work, we are also required to provide  
2 you with traceability of those calculations. As you saw  
3 yesterday, there are a number of calculations and there are a  
4 number of different components and those calculations have  
5 information transfer from all those different components and  
6 we have to insure traceability for each piece all the way to  
7 the end product. So, that will be the emphasis of my talk  
8 this morning by providing a traceability example for TSPA-VA.

9           First, I'd like to acknowledge many of the people  
10 who have really enlightened me in this traceability area at  
11 Sandia. Eloise James is our technical data coordinator;  
12 Susan Howard who is helping to try to make traceability a  
13 reality for VA. At the technical database, I've been working  
14 closely with Ray Keeler to get a lot of this VA information  
15 into the technical database and Steve Bodnar. At the DOE,  
16 Claudia Newbury has recently done some nice work in tracking  
17 down some of the data tracking numbers.

18           First, I'd like to define what traceability is.  
19 There's a lot of formal and informal definitions for  
20 traceability. They all seem to have the salient meaning.  
21 From the Board, the Panel, the NRC, there's a lot of  
22 different definitions, but they're captured here by the  
23 definition that I pulled out of the dictionary. This is, by  
24 far, the most concise. So, I decided to use this one. If  
25 something is traceable, you're able to ascertain the

1 successive stages in the development or progress of that  
2 system or process.

3           Now, for Viability Assessment, we have two main  
4 facets of traceability. The first is in the decisions and  
5 the assumptions that go along with these models that we're  
6 using. I hope that we present that through our presentations  
7 and ultimately through our VA document. It's the second  
8 facet that I'm going to be concentrating on and that is the  
9 traceability of our information transfer; the data files, the  
10 model inputs, the model outputs, the raw data. How is all  
11 that information transferred from one piece to the next?  
12 This is behind the scenes. This is something you're not  
13 going to see in these presentations or perhaps not even  
14 directly in the VA document, but that is an important part of  
15 VA, as well. So, my objective is to demonstrate the  
16 framework to produce traceable performance assessment  
17 calculations with regard to data, model input and output  
18 files, such that they are traceable and retrievable. The  
19 primary reason for being traceable is that we would like  
20 these analyses, if so desired, for an independent PA group to  
21 reproduce them. So, reproduce-ability can be achieved if we  
22 can provide traceability for all these different data, input  
23 and output files, and all the information exchanged that goes  
24 all the way to the end product.

25           So, this next slide shows an illustration of again

1 all these different pieces and components to VA and I invite  
2 you to look at your handouts for a clearer view of each of  
3 these individual components. The somewhat cluttered nature  
4 of the slide is quite effective in actually showing my main  
5 point and that is there are all these handoffs for  
6 information transfer that have to go from one model of a  
7 component to the next before it is then used by another  
8 component and then another until we finally get to the end  
9 product which is the final performance measure of dose.

10           And, this example that I'll be providing this  
11 morning deals with the unsaturated-zone flow component and  
12 the feeds to it and the output to the unsaturated-zone  
13 transport. So, that's the example I'm going to emphasize.  
14 I'll admit that the reason I'm choosing this example is  
15 because it's an area where I feel that we have good  
16 traceability. In some of these other areas where perhaps the  
17 traceability is not quite as good, we are working to get the  
18 traceability that is required for the VA.

19           So, on that branch of the VA components, I've sort  
20 of expanded that here. For unsaturated-zone flow and  
21 transport, again the output for this example is going to be  
22 UZ transport calculated by the RIP/FEHM coupling that was  
23 explained yesterday. Okay. So, the output here is the  
24 unsaturated-zone transport, radionuclide transport that spoke  
25 to the saturated-zone, and to get to this point, though, we

1 needed some flow fields to do the particle tracking of those  
2 radionuclides. We needed a post-processor to convert those  
3 flow fields into an FEHM readable file from the TOUGH2 flow  
4 fields where they were actually calculated. Well, those  
5 TOUGH2 flow fields, in turn, needed a lot of information to  
6 develop those flow fields and we're getting down to the basic  
7 properties and the input parameters for those UZ flow fields.  
8 So, here's an example where we have a lot of information  
9 transfer to get to our end product for this example and that  
10 is UZ transport. So, what I'd like to in the next several  
11 slides is just show for each successive pairing how is the  
12 information controlled and transferred so that we can insure  
13 traceability each step of the way.

14           So, for that first pairing on the top, this is  
15 another good point that I'd like to make. As scientists, we  
16 often like to think from the bottom up. We like to start  
17 with the theory, the fundamental theory or the basic  
18 properties, and work our way, present it in a journal article  
19 or whatever, to the end product. But, for traceability, it's  
20 often easier to start with the end product that you can  
21 identify with and then trace your way back from that point to  
22 the basic properties. And, that's the way I'm going to  
23 present this.

24           Starting from the top, again our output is this  
25 RIP/FEHM calculation of UZ transport. The output is the

1 radionuclide transport in the unsaturated-zone. What we need  
2 to make that calculation are the flow fields that can be read  
3 in by this FEHM particle tracker. That was done with this  
4 T2FEHM2 post-processor. Now, instead of just handing off  
5 that information to this component to control that  
6 information and insure traceability, we go through this side  
7 process where we submit that data and information via  
8 Technical Data Information Form, this TDIF, to the technical  
9 database. Now, if you look at the fourth to last slide in  
10 your handouts, I've got an example of Technical Data  
11 Information Form. So, when we submit this information to the  
12 technical database, we submit it along with this form and it  
13 has some very basic information. It's very simple to fill  
14 out. It has the identification of the data, the title, the  
15 method that was used, and importantly on the bottom, it also  
16 has the source data or the input information that went into  
17 that component so that you can then trace it back from that  
18 point. So, this accompanies the data that is then sent to  
19 the technical database.

20           The technical database is a storage, as indicated  
21 by this file cabinet, of all this data information that is  
22 being brought in, but is indicated by this happy computer  
23 here that's actively taking information and handing it off.  
24 It is also very computer accessible. If you look at the  
25 third to the last slide in your handouts, I have an example

1 of the--or the home page for that technical data management  
2 system. By being computer accessible, one of the best ways  
3 of common technology is to have it on the Web. So, when  
4 information is sent to the technical database, they then work  
5 to put it on the Web and this is the home page from that web  
6 site and if you are a participant of the Yucca Mountain  
7 Project, if your domain name is acceptable or valid, you can  
8 access this site and that's shown up on the right hand corner  
9 there.

10 BULLEN: I see you've got 30 day posted data changes.  
11 Is that the frequency of refreshing? I mean, is that as  
12 fresh as the data gets or--and, I guess, the corollary  
13 question is how hard is it to get this data in and how  
14 readily accessible is it after you get it in to people who  
15 want to get to it?

16 HO: Yeah, and you've got several good points in there.  
17 Let me see. The first one is this 30 day posted data change.  
18 Steve Bodnar had once mentioned that to me. I don't know if  
19 Claudia--do you have an answer to that? I'm not quite sure  
20 what this button means. I've never actually pressed it, as  
21 you can see. I only go here and here.

22 NEWBURY: The 30 day posted data change is any changes  
23 that occur to the data in the last 30 days because sometimes  
24 datasets are superseded, sometimes they're changed for  
25 another reason, sometimes new data comes in. So, we want a

1 real quick show of the last 30 days worth of changes to the  
2 databases.

3       BULLEN: Before you leave, Claudia, if somebody is using  
4 the data, is there a way that once data has been changed that  
5 that person is notified that what they did may no longer be  
6 valid?

7       NEWBURY: That's something we're working on. What we  
8 had done in the past is said it was up to the person using  
9 the data; go back and check periodically. And, of course,  
10 that doesn't work too well. So, what we're doing is we're--  
11 as this has gone online, we can now keep track of who has  
12 accessed the data, and if it changes, we can notify them.  
13 It's something we'll have soon.

14       HO: But, getting back to your other points--thanks,  
15 Claudia. Getting back to your other points of how easy is it  
16 to submit and retrieve? I will concede that in the past and  
17 perhaps to some degree right now, it is not as transparent to  
18 some of the principal investigators as to how to use this  
19 system. That's what we're trying to work with is work with  
20 the principal investigators and say, hey, it's on the Web. It  
21 can't too much easier than this. But, as far as putting it  
22 in the Web, we submit the technical data information form.  
23 We do require an independent technical review of that data  
24 when it is submitted. But, outside of that, submittal is  
25 very easy. As far as retrieval, once it is on the Web--and

1 it can take from a day to maybe a week or two depending on  
2 what the priority is of that data. If you have a contact at  
3 the technical database. I have Ray Keeler. I say, hey, Ray,  
4 I've got something that I really need up on the Web for this  
5 TRB meeting, can you put it up there, and he'll do it within  
6 a day.

7           But, once it's up, you come to this home page. For  
8 the performance assessment calculations, I click here on  
9 system performance assessment and there is a list of all the  
10 relevant data, the inputs and outputs, for the VA  
11 calculations that you can click on and download via the Web.  
12 What I envision--it's not quite there yet, but what I  
13 envision is that when you click on this, you might get a nice  
14 page where you have each of those nice little icons that  
15 we're using for each of the areas. So, when you click on  
16 each of the icons, you then go into the area for that icon  
17 and you see all the different inputs or outputs for that  
18 component. We're not quite there yet. The advent of using  
19 the Web for the technical data management is relatively  
20 recent. Again, we're working towards this.

21       BULLEN: A quick followup question. You did mention  
22 that it was reviewed by a technical person to make sure that  
23 it was valid. I assume that also means it's got a QA  
24 pedigree associated with it and so if you're going to use it  
25 for design data, you've got to have QA level whatever and--

1 HO: Yeah, yeah.

2 BULLEN: --is that also a check and balance that you  
3 have or can somebody sneak in a little bogus data to pose a  
4 problem for you?

5 HO: No, I think that the control is here. When you  
6 fill out the TDIF, Technical Data Information Form, if you  
7 look on here there is a place where you specify whether or  
8 not the data is qualified. So, you do indicate if that data  
9 is qualified and there are certain requirements to be  
10 qualified.

11 BULLEN: Okay. Does anybody check the fact that it is  
12 qualified, I guess would be the follow-on question? You  
13 might want to consider that one.

14 HO: Yeah. No, I think that's up to the technical data  
15 coordinator, and on our end, Eloise James makes sure that we  
16 do follow, say, the rules. In this case, if you look at the  
17 example, she said, no, this isn't qualified for certain  
18 reasons. I think that it depends on the institution. You  
19 know, one of the things about technical data management and  
20 traceability for the Yucca Mountain Project, as opposed to,  
21 say, the WIPP Project, is we have a number of different  
22 participants, not just Sandia controlling WIPP. So, it's up  
23 to different institutions to maintain the integrity of, say,  
24 their submittal to the technical data base.

25 Okay. So, we've submitted it to the technical

1 database. The analyst who is running RIP or FEHM that does  
2 the UZ transport, then retrieves that information. If you  
3 look on the top of that Technical Data Information Form, that  
4 TDIF, there is a unique Data Tracking Number or DTN  
5 associated with each of these post-process flow fields.  
6 Okay? So, when you use this in RIF/FEHM for UZ transport,  
7 you are assured of using a controlled version of that file  
8 and also of showing consistency that if somebody else wants  
9 to use this process flow field that with this unique  
10 identifier that they keep using a consistent dataset.

11           Stepping through the stages of this example, that  
12 was the handoff to the top level UZ transport, but the  
13 T2FEHM2 post-processor, of course, needed the flow fields  
14 from TOUGH2. So, that's the next stage. A very similar  
15 viewgraph except this is just the input to the post-processor  
16 where we needed information from the TOUGH2 calibrated UZ  
17 flow fields. And, again, this information, each of these  
18 flow fields is submitted to the technical database with the  
19 Technical Data Information Form which then identifies it  
20 uniquely with this Data Tracking Number, and then it is used  
21 by the post-processor.

22           Then, finally, the flow fields that were  
23 calculated, of course, need a host of information; hydrologic  
24 properties and various input parameters. And, the input to  
25 that TOUGH2 flow field is shown here where we're getting now

1 down to the raw data and supporting information. For this, I  
2 have a couple of example icons. The borehole data,  
3 infiltration maps, all of these have unique DTNs or Data  
4 Tracking Numbers once they've been submitted to the technical  
5 database through this Technical Data Information Form. And,  
6 here are some examples of some of those DTNs; porosity  
7 measurements, air permeability, infiltration rates.

8           If you look at the last two pages of your handout,  
9 I include a table of input data for the LBNL site-scale UZ  
10 flow model and it ranges over information for the geologic  
11 framework model, thermal properties, matrix and fracture  
12 properties, air permeabilities, temperature, geochemical, a  
13 host of information that went into the model. Again, the  
14 DTNs associated with each piece of information uniquely  
15 identifies that piece of information.

16       SAGÜÉS: Excuse me, I want to proceed now coming from  
17 the bottom up, right?

18       HO: Yeah.

19       SAGÜÉS: So, we have now data from the field and from  
20 the technical literature evidently judging by the example  
21 that you gave down there. And then, that's taken to  
22 something called calibration and unsaturated-zone flow. What  
23 is done in that particular state?

24       HO: This up here has been performed by LBNL. It was,  
25 more or less, lumped. In other words, the DTN that came out

1 of that actually includes the calibration of those flow  
2 fields using the raw properties and--

3 SAGÜÉS: Okay. But, what do you mean that you calibrate  
4 the flow field?

5 HO: Okay. The flow fields--the properties are then  
6 calibrated using this raw data. They run inversion  
7 calculations. So, they take a series of, say, 1-D columns,  
8 okay, and they have observed data--matrix saturations, matrix  
9 moisture potential--and they put in the raw data with some  
10 standard deviation associated with it. They constrain those  
11 parameters that they can then fit those parameters, the  
12 parameters that are deemed uncertain. Fracture properties  
13 are very uncertain. So, we usually let those be fitting  
14 parameters in a lot of our calculations. But, you let those  
15 vary using the inversion algorithm to match the data. Okay?  
16 So, that's the calibration is you're trying to match the  
17 matrix saturations, moisture potential, other observed data,  
18 using that flow model and then optimizing, if you will, the  
19 uncertain properties.

20 SAGÜÉS: Okay. So, in other words, you affix some kind  
21 of a theoretical model to the data?

22 HO: In this case, a numerical model, TOUGH2, right.

23 SAGÜÉS: I see. Now, the input--as important as the  
24 data are the assumptions used to massage the data to get the  
25 abstractions that you're going to put upwards. What is that

1 particularly; namely, the ideas and the theories that go into  
2 the model? That's a fixed thing in that particular scheme, I  
3 presume?

4 HO: Yeah, and we have different ones. And, again,  
5 that's the first facet that I talked about traceability.  
6 What are the different models, the decisions, and the  
7 assumptions that go into the theoretical development of the  
8 models that we use? Now, there are calibrations not just for  
9 our base case, but we have sensitivity type models that have  
10 alternative conceptual models of, say, fracture flow. So,  
11 that is documented.

12 SAGÜÉS: Okay, I'm sorry. What I mean is there is an  
13 arrow coming from the left there into TOUGH2 calibration and  
14 UZ flow which is coming from the left side. It's not shown  
15 there in this screen. It's the dark part. And, that these  
16 theories, hypothesis, and all that, right, that is sort of  
17 like a static thing. That's been done once and that's not  
18 done anymore. Is that correct? Am I looking at that  
19 correctly?

20 HO: Yeah, I believe so. What I'm interpreting is  
21 you're again addressing a different facet of the  
22 traceability. The theory and assumptions that go into this  
23 is another facet. It's important, but it's not part of this  
24 framework of the data information transfer between models. I  
25 think it's more appropriate. This has come up several times

1 and I believe it's come up several times because in the  
2 definitions, the more formal definitions of traceability, it  
3 is not just data and information transfer, but it is the  
4 model and assumptions. I think those models and assumptions  
5 can better be explained in a document when you describe what  
6 you did. I think, it's more transparent. This is a  
7 framework for insuring the control of--

8       SAGÜÉS: The word "calibration" is what sort of throws  
9 me there. It's fitting it to a model, isn't it? I mean,  
10 you're making a numerical fit to your data. You're assuming  
11 --you have some assumption and then you're finding the model  
12 parameters that feed the datas. That's where that is--

13       HOXIE: This is Dwight Hoxie with USGS. Let me just  
14 elaborate a little bit. According to our quality assurance  
15 program, the way that this should happen in principle is that  
16 most of the scientists have something called a scientific  
17 notebook which is a very much controlled, reviewed document  
18 in which they can make daily, hourly, minute entries. So,  
19 the assumptions and all of the processes of the calibration,  
20 all the iterations that they might go through should be  
21 explained and documented in those scientific notebooks.  
22 Then, those can be translated into our formal reports that  
23 are qualified reports that then can be distributed and  
24 documented for your consumption.

25       SAGÜÉS: No, what I mean is over there in the

1 calibration--suppose that one of the things that is needed  
2 for the LA eventual model is, say, porosity as a function of  
3 XYZ. Every point in space needs to have a porosity, for  
4 example. Is that where--TOUGH2 calibration and UZ flow where  
5 that number is obtained or is it farther up?

6 HO: I think I can probably take this one. For porosity  
7 itself, that is not a calibrated parameter, but rather it is  
8 used based on raw information. So, that would, more or less,  
9 come from the raw data submittal. That is then included in  
10 the input files that they use for the property fields for  
11 their UZ flow fields and then that can be used from--the  
12 porosity can be used from those DTNs. Now, let's take a  
13 calibrated parameter--

14 SAGÜÉS: But, someone has to interpolate those values,  
15 for example? Where is that interpolation made?  
16 Interpolated, extrapolated, etcetera. You know, you get  
17 porosity measured here and porosity measured, say, half a  
18 mile away, and then you need porosities in between. Where is  
19 that in between, the definition?

20 HO: Well, I think when you research interpolation of  
21 property fields, we're talking about a geologic framework  
22 model and that is also inherent in the UZ flow model and that  
23 was included in that table that I had for describing how is  
24 that property distribution used in the TOUGH2 flow modeling?  
25 But, that is in there. A lot of that information is all

1 down here.

2       SAGÜÉS: So, what is then going into TOUGH2? That's  
3 what I cannot understand.

4       HO: Okay. I think I can answer that. Simply, once you  
5 have all the information to create an input file, you're  
6 running a numerical model. You need an input file that  
7 describes all the properties for all your different elements,  
8 the structure of your grid. Okay. That input file creates,  
9 if you run TOUGH2, an output file, a UZ flow field. That has  
10 to be controlled and that's what I'm describing by the  
11 handoff from here is when you create those flow fields from  
12 all that supporting input information that that output--just  
13 simply those output files which contain information on mass  
14 flow, spatial mass flow, saturations, that is submitted to  
15 the technical database and it has a unique Data Tracking  
16 Number. Now, also what's submitted with that output file is  
17 the input files themselves. So, those input files for the  
18 TOUGH2 runs, for someone who is familiar with TOUGH2, they  
19 can pull out and say, okay, I know what the porosity is of  
20 each of these elements, I know what the different values of  
21 the different properties are.

22               There's still maybe some confusion and I'd be happy  
23 to--

24       SAGÜÉS: Well, it looks like you have one or two blocks  
25 too many there. That's the problem. So, we can--let's keep

1 going.

2 HO: Well, actually, the only thing left is the summary.  
3 I also had to give it a lot of thought in terms of how you  
4 break out these blocks. Even though there is only four shown  
5 here, it can be confusing.

6 So, in summary, I believe there is a framework that  
7 currently exists to provide traceability of our TSPA-VA  
8 calculations. I've tried to do that with this example  
9 centered around the unsaturated-zone flow. Although we're  
10 not all quite there yet, we are striving towards the  
11 traceability for all the TSPA-VA components.

12 BULLEN: Thank you, Cliff. Questions from the Board?

13 (No response.)

14 BULLEN: Actually, I'll jump in here. When will this be  
15 available to non-project participants like the TRB, but also  
16 maybe the general public because at some point there's going  
17 to be interest in finding out, you know, to the smallest bit  
18 of minutia how you guys came up with the results that you  
19 did. Is there a plan that--

20 HO: I'm going to turn that over to Claudia.

21 BULLEN: Okay.

22 NEWBURY: Coincidentally, I got a e-mail last night  
23 answering your question. Can you put up the home page? We  
24 signed off to put out on our Internet Web site the ATDT, the  
25 tracking system that has a listing of all the data that's

1 been collected; the GI, geographic information database which  
2 is all the spatial data, the maps, the--actually, there's  
3 some satellite photos in there, too; it's kind of nice--the  
4 SEP, the site and engineering properties database; and the  
5 requirements traceability network over on the left. The  
6 datasets in the middle are in-process. This is where we're  
7 storing things as we develop those particular documents.  
8 They'll go out later as the documents are released. And, the  
9 other ones, I don't think we've decided on yet.

10 BULLEN: And, Claudia, who can access these data?

11 NEWBURY: As of, I hope, mid-July, they will be open to  
12 the public, those that I mentioned. We're working with your  
13 staff to make our whole Intranet available specifically to  
14 the Board.

15 BULLEN: Okay, thank you. Other questions from the  
16 Board?

17 (No response.)

18 BULLEN: Panel?

19 BAHR: Cliff, if you put your flow chart back up, maybe  
20 just to try to address Alberto's questions, I think what you  
21 probably need is a double headed arrow between the hydrologic  
22 properties input parameters in your TOUGH2 calibration  
23 because it's really an iteration between model runs and that  
24 interpolation process of the properties where those property  
25 values get updated. I think by making it look like it's a

1 one-way street there, that may be what's causing some of the  
2 confusion.

3 HO: Thank you.

4 BAHR: Is that an accurate assessment of the process?

5 HO: I think there is some iteration, but I'm not sure  
6 if we go back and dip into the raw database so much.

7 Once the properties are--

8 BAHR: You have a raw database of properties. But, what  
9 Alberto was talking about is you don't have those properties  
10 continuously over the whole system and you have a certain  
11 amount of uncertainty in those in the calibration process.  
12 What you try to do is match outputs that have been observed  
13 at particular places and the best way to do that is to update  
14 your interpolations or to vary within your range of  
15 uncertainty the values of your parameters like permeability.

16 HO: Okay. But, I don't want to confuse the calibration  
17 effort with what defines the framework of our model; what I'm  
18 calling the geologic framework. There is studies--perhaps,  
19 if it's down here or another box--that uses these discrete  
20 raw data and interpolates and interpolates onto a  
21 stratigraphy for that information. Once that's established,  
22 then that is used here for the calibration.

23 BAHR: I guess, if that's established and that's never  
24 changed, then that does beg the question what are you  
25 calibrating or are you calibrating or are you simply running

1 TOUGH2?

2 HO: The calibrations are to optimize the results such  
3 as matrix saturation potential, perched water--

4 BAHR: And, what parameters do you vary in the process  
5 of the calibration?

6 HO: Right. And, I didn't really elaborate on that, but  
7 we vary or estimate parameters that we deem to be uncertain.  
8 For the base case, for example, those parameters that were  
9 highly uncertain for the dual permeability model are the  
10 fracture matrix multiplier term. This is a conductance  
11 multiplier that modifies that fracture matrix conductance  
12 because of heterogeneities that cause fingering or channeling  
13 or fracture coatings. And, I didn't, at all, get into this  
14 and this probably wasn't touched on yesterday much. But,  
15 that is an uncertain parameter. What is the reduction? Is  
16 it a tenth, a hundredth,  $10^5$ ? That is an uncertain parameter  
17 that we use as a fitting parameter in the calibration to  
18 optimize the match between predicted and observed  
19 measurements of, say, saturation, perched water, moisture  
20 potential, air permeability.

21 BULLEN: I think we went beyond the scope of  
22 traceability here when we're talking about calibration and  
23 datasets. So, maybe that could be reserved for an offline  
24 conversation.

25 Any other questions from the Board? I think, Jeff

1 Wong had a--

2       WONG: I just have a quick one. Cliff, are you going to  
3 have a database that basically catalogs or maintains a record  
4 of all your runs, historical runs? You know, you're going to  
5 have some runs of your models which you reject for whatever  
6 reason and then you're going to have those that you keep and  
7 put in your report.

8       HO: This is an area that perhaps I'm not that familiar  
9 with. Maybe Claudia can speak to it. But, in terms of the  
10 different pieces, I think for the actual RIP calculations  
11 that that may be used in this framework. Any and all runs  
12 that are used are submitted; if they're rejected, they're  
13 tagged as such. As far as the individual components, say,  
14 this UZ flow, if I have a run and I end up not using it, the  
15 cataloging or the archiving of that flow field from my little  
16 world of the entire VA calculation, I'm not sure about how  
17 we're going to do that. I do end up submitting all flow  
18 fields that are used, but for those that are not used for  
19 whatever reason, I believe we would document things that we  
20 reject, but I'm not sure if we actually archive those actual  
21 files.

22       BULLEN: Claudia, do you have anything you want to--

23       NEWBURY: Yeah. It's a difficult question because of  
24 the volumes of data that you're going to generate. What  
25 we've tried to do is say we have a controlled software

1 package. We know exactly what TOUGH 2 is and the volume  
2 diversion that you've run. If you document your various  
3 runs, that they were, and we have all the inputs, then we can  
4 regenerate any output including one of the ones that you  
5 rejected. So, we don't have to necessarily keep them, but we  
6 can always regenerate them.

7 WONG: Yeah, I make that comment because it's pretty  
8 complicated and you have historical records as to runs that  
9 you rejected and why you rejected them. Then, others who  
10 come along after you won't repeat those runs.

11 HO: Yeah. I mean, that's a good point, too. I say  
12 that we are actually required to describe in our VA document,  
13 I believe, why we chose what we did and why we chose not to  
14 include what we didn't. But, it may at this stage just be a  
15 simple description. We considered this type of a conceptual  
16 model, but we didn't include it. Now, what I was trying to  
17 address is, well, for those that we considered, do I actually  
18 take those reams of files and actually store it somewhere on  
19 the technical database, as well, or is it sufficient to say  
20 here's the conceptual models that we considered, and because  
21 of these reasons, we rejected it.

22 BULLEN: Other questions from the Board?

23 (No response.)

24 BULLEN: From the Panel?

25 (No response.)

1 BULLEN: From the staff? Victor?

2 PALCIAUSKAS: Just one brief question, but it's probably  
3 not dealing with the passage of data there. But, I think  
4 it's more perhaps higher level or appears elsewhere. Where  
5 will the information appear, for example, that explains how  
6 the decision was made to--or were these, for example, curves  
7 that came out of the UZ travel times. For example, what were  
8 the key decisions and what were the key data that basically  
9 forced you to come to these travel times?

10 HO: That facet is the first thing I talked about and  
11 that is how do you know what we did and why? Okay. It's  
12 also a little bit redundant with transparency. What we did  
13 and why that justified that curve of travel times.

14 PALCIAUSKAS: Where will that information appear?

15 HO: As I mentioned before, I think that that's more  
16 appropriate in the actual VA document in those chapters for  
17 either the technical basis document that is associated with  
18 the VA document that helps describe and elaborate that  
19 information that is on the graph. As far as this process  
20 here, this is more for the--you understand it's for the  
21 transfer information. But, it's a very good point and again  
22 that's why I from the onset illustrated what I perceive as  
23 two main facets. The one you just described is, I think,  
24 that first facet of the decisions and the assumptions  
25 associated with the models. And, I hope that that can be

1 described in a transparent manner in the VA document.

2 REITER: I thought when Claudia--maybe I misinterpreted  
3 that those kind of information would be available in  
4 hypertext version. In other words, you could scan the  
5 document and, say, you come upon something and you can trace  
6 back to what the assumption--the kind of thing that Victor  
7 wants. Is that correct?

8 NEWBURY: That's correct if it is included in the  
9 document. We've given direction to the authors that they  
10 will include that information. So, when the VA document is  
11 complete and they say, well, it's in my calculations in this  
12 report, X, and this is where I've described my process,  
13 you'll hypertext link to that other report and you can read  
14 it and judge whether or not they--

15 REITER: When will that be available?

16 NEWBURY: Well, the hypertext version of the VA is  
17 supposed to come out three months after the VA itself.

18 REITER: Three months after TSPA-VA? In other words, if  
19 they're coming out in June, you're talking about September?

20 NEWBURY: No, no, no. The official VA documents comes  
21 out when the Secretary signs it sometime after September 30.  
22 On September 30--

23 REITER: In other words, we won't have access to the  
24 hypertext version until--

25 NEWBURY: Until after the VA is officially released. It

1 will be on the Internet. We can talk off-line.

2 BULLEN: Other questions from the staff?

3

4 (No response.)

5 BULLEN: Thank you, Cliff.

6 I'd like to stay ahead of schedule. So, we're  
7 going to take a break until 10:30, and we will reconvene  
8 then.

9 (Whereupon, a brief recess was taken.)

10 BULLEN: Before we start, I wanted to ask Abe Van Luik  
11 to make a couple of comments about chlorine-36 in response to  
12 the question that was raised in the public comment session  
13 this morning. So, Abe, could you enlighten us a little bit  
14 about the project issues related to chlorine-36?

15 VAN LUIK: What was it someone said this morning? Take  
16 your seats and put them in a chair. This morning very early,  
17 I thought, there was a loud ringing noise in my room and it  
18 took me a long time to figure out what that meant. When Alf  
19 Wikjord was talking about the chlorine-36 problem in some  
20 international programs, a bell went off, but it took me a  
21 long time to figure out what that meant, too.

22 What it meant was that three years ago, we had an  
23 official inquiry from UK/NIREX saying why is that in our PAs  
24 we have chlorine-36 as a dominant dose source and in yours  
25 you don't even see it? At that time, we did kind of a

1 comparison side by side of where the chlorine-36 came from,  
2 etcetera. What it turns out in their calculations and I'm  
3 not sure if it's that way for everyone, but chlorine-36 is  
4 part of the spent fuel, but it's not part of the high-level  
5 waste to a greater extent than it is in ours. Where they  
6 find it is in their intermediate level waste which is the  
7 holes and end caps and the hardware.

8           The thing that we decided is that they create their  
9 cladding under an argon atmosphere and it incorporates argon.  
10 Chlorine-36 is an activation product of argon. And, as far  
11 as we could tell, U.S. vendors do not create their cladding  
12 in the same way and that's the reason that we don't see  
13 chlorine-36 to the same extent that at least UK/NIREX did.  
14 We did that about three years ago.

15       BULLEN: Just a quick side question. Do you happen to  
16 know the inventory of chlorine-36 in the characteristics  
17 database for 70,000 metric tons? Is it on the order of a few  
18 curies or tenths of curies; off the top of your head? You've  
19 probably got that one memorized, right?

20       VAN LUIK: No, I don't have that one memorized. I can  
21 look it up, but I--

22       BULLEN: Well, actually, I can, too, when I get home. I  
23 just thought I'd ask.

24       VAN LUIK: I'm sure it's a few curies. It's not just  
25 tenths of curies.

1 BULLEN: Okay. Okay, thank you.

2 We're going to allow some time for a summary of  
3 TSPA-VA and that presentation will be made by Holly Dockery  
4 and it will be followed by comments from the NRC. But, since  
5 we're 15 minutes ahead of schedule, I'd like to stay that  
6 way. I'm going to introduce Holly who is from  
7 Sandia National Laboratories to give us her perspective in  
8 summary of VA.

9 DOCKERY: I'm going to give just a really brief summary  
10 of the TSPA-VA results just so everyone can go home  
11 remembering what it was that you've been hearing for the last  
12 day and a half. I'm also going to have a little bit of a  
13 discussion and some of it may try to address something that  
14 Dr. Parizek asked me early this morning which is where are we  
15 going to specifically be going for the LA in terms of  
16 gathering new information. That wasn't something that I  
17 originally thought about talking about, but I'll try to  
18 address that briefly and punt any questions that you have in  
19 detail on site or design to Dwight Hoxie for site and Vic  
20 Dulock and other folks here from design.

21 Just to refresh your memory on what the expected  
22 case results were in terms of dose. And, again, as Abe has  
23 said earlier, this is something we might be concerned about  
24 if this was the license application, but what we're using  
25 this for right now in the VA is directories where we need to

1 go and what information we need to gather. So, 10,000 years,  
2 if you looked at--if you recall back to Bob Andrews' talk  
3 where we were looking at the dose to the average individual,  
4 then the expected value for the peak dose there is .04  
5 mrem/yr. The 5 percent case, the--again if you take it off  
6 the CCDF from Mike Wilson's talk, it showed the CCDFs for  
7 probability of the various dose rates, 5 percent was about 0  
8 mrem/yr or exactly 0 mrem/yr. The 95th percentile was .85.  
9 That wasn't plotted on this. At the 100,000 years, again  
10 this is from Bob Andrews' talk, the expected value is 5.3  
11 mrem/yr which magically very closely replicates what Bob did  
12 in his little hand calculation. Again, the 5 percent is  
13 about 0 and the 95 is about 210 mrem/yr. And, finally, for  
14 the 1,000,000 year dose, we're seeing some large values. The  
15 expected value is 300 mrem/yr, the 5 percent is .071, and the  
16 95 is on the order of 1000 mrem/yr. So, that's where we are  
17 in terms of the dose calculations.

18           Perhaps, more important, is what we came up with  
19 from the uncertainty analyses because the VA is a springboard  
20 for what do we need to do to get to the LA. Well, the five  
21 most sensitive parameters in all the regression analyses,  
22 I'll refresh you from Mike's talk, were the seepage fraction  
23 or the number of waste containers that are contacted by  
24 seeping water, the corrosion rate of the corrosion resistant  
25 material, the number of juvenile failures, saturated zone

1 dilution, and the percolation flux. And, again, I'll remind  
2 you, as Mike said, this includes the uncertainty, as well as  
3 the impact on the final dose values. So, these tell us not  
4 necessarily what we'll find to be the most important  
5 parameters in the long-term, but they give us a lot of  
6 direction on what we need to be addressing our studies over  
7 the next few years because here, if we can reduce the  
8 uncertainty, we'll have the greatest impact on our final  
9 results.

10           I was asked by Claudia to say what is a juvenile  
11 failure exactly. Exactly, it's sort of exactly anything  
12 that--the containers that fail early for things other than  
13 corrosion. It may be mechanical defects, it may be that  
14 somebody dropped that container really hard when they were  
15 placing it on the pedestal. There was some reason that the  
16 container got a breach in the container not due to corrosion.  
17 And so, this happens--is forced to happen at about 1,000  
18 years for that juvenile failure. Does that explain it any  
19 better? Okay.

20           SAGÜÉS: Excuse me, when you identified the five most  
21 sensitive parameters, indeed, you indicated the importance  
22 was a combination of the increasing importance of the  
23 parameter and the uncertainty of the parameter. The cladding  
24 corrosion is not in that list. Do I understand correctly  
25 that it is not in that list because they assume uncertainty

1 in that parameter was relatively small? Am I interpreting  
2 that correctly?

3 DOCKERY: That's a good question for Mike, I believe.

4 WILSON: Yes.

5 DOCKERY: Yes. Mike Wilson says absolutely.

6 SAGÜÉS: Okay. And, the sensitivity, just to refresh my  
7 memory here, is done by looking at the upper 95th percentile,  
8 say, the 5th percentile of the 95th percentile of that  
9 particular parameter, for example, and then seeing how the  
10 curves come out? Is that--

11 DOCKERY: In this particular case--

12 SAGÜÉS: That's how that sensitivity was evaluated?

13 DOCKERY: Yes.

14 SAGÜÉS: So, you have a parameter that has very little  
15 uncertainty. Then, of course, the result is independent.

16 DOCKERY: Exactly. And, that's why we're not relying  
17 exclusively on the uncertainty analyses to help us determine  
18 what are the most important things to study. This is one of  
19 our guidelines, but as Mike also talked about, we were  
20 looking at the "what if" scenarios and we're looking at one  
21 off studies and there are other methods that we're also using  
22 to look at how we would go about testing for the next set of  
23 the VA. This is one method for which we will come by this.  
24 There's also reason for us to be looking at these because we  
25 believe that--in particular, in some of these areas like the

1 saturated zone dilution and the CRM corrosion rate, as we get  
2 more information, we think we may be handling those  
3 relatively conservatively. So, they may be areas where we  
4 would get better performance if we had more constrained  
5 information.

6           Just in case you wondered if we were all going to  
7 go home and sleep for the next three weeks in the PA team, I  
8 would like to assure you that that is not the case. What  
9 you've seen in the last day and a half is basically what will  
10 be in the VA. There are a lot of things that we would like  
11 to do, a lot of ongoing information and collection activities  
12 that will be incorporated into the license application,  
13 additional "what if" studies that we would like to perform.  
14 But, basically, what you've seen is what you'll get in the  
15 Viability Assessment. We're in the documentation phase right  
16 now. We had to complete our VA documentation for review and  
17 that basically is in a freeze date of May 15. So, again, the  
18 basic math says we'd better be writing two months ago. So,  
19 that's what we'll be doing is looking at these results and  
20 trying to interpret them and we may have some time to do a  
21 few additional studies, but mostly we'll be writing. We have  
22 internal review comments. One of the real important things  
23 that we're going have to do in the next three or four weeks  
24 is make sure that whatever recommendations PA makes to design  
25 that we have that incorporated into the LA plan section of

1 the VA document.

2           For those of you who are not familiar with what the  
3 VA document is going to have in it, this is just the total  
4 system Viability Assessment document. There is a first  
5 volume that we've heard talked about that has the site  
6 description and introduction and other information. Volume 2  
7 will be the design information. Volume 3 is where the total  
8 system performance assessment will sit. And then, very  
9 important, the Volume 4 is the license application plan and  
10 costs. That's what the program has decided needs to be done  
11 for LA will be captured in a gross sense. Then, Volume 5 is  
12 the cost to construct and operate the repository.

13           Then, the next stage of what we're going to be  
14 doing in PA is writing what we call the technical basis  
15 report, the technical basis for PA. Whereas the VA document  
16 is going to be the 300 page summary document of what you've  
17 heard, we also want to capture every nuance, every data  
18 point, every conceptual model, every sensitivity analyses.  
19 So, whereas this is the 300 page volume, this is probably the  
20 3,000 page volume. That's due over the course of the summer.  
21 So, that information will be coming out and we'll be going  
22 through formal review processes for that, as well.

23           We're also scheduled to initiate review with the PA  
24 peer review panel. That's going to be a very important part  
25 of synthesizing the information that we have and seeing what

1 Chris Whipple and his crew of merry men believe are most  
2 important goals for the total system for the license  
3 application. So, as soon as we have our TSPA-VA and  
4 technical basis report through our review process, we will  
5 start to work with them on what we need to do for that.

6           We have a plan to address QA issues and I have  
7 another viewgraph on that to talk about that in a little more  
8 detail. We will work on modifying the TSPA-VA document for  
9 public forum which is addressing one of the questions that  
10 Bob brought up in his talk and Abe brought up in his talk  
11 about trying to take this information and make it more  
12 readily accessible to the public. The DOE is actively  
13 working on methods to do that and we expect it will be  
14 supporting them in some fashion, although we know that PA  
15 analysts are not perhaps the best people to draw the final  
16 diagrams for that forum. Then, we're going to start the  
17 activities for the abstraction/testing plans. We expect to  
18 go through another round of workshops and start this whole  
19 process for the LA.

20           The TSPA-VA volume--I'm putting up an outline that  
21 we have that's on the story board right now. It will show  
22 you somewhat of the contents that are going to be in the VA  
23 volume. This is the first part of the outline. I'll put  
24 this one over here so you can see the whole outline. It will  
25 be a very high-level overview of, first of all, what is PA in

1 general; second, what did we do specifically for the total  
2 system performance assessment for Yucca Mountain; what we the  
3 results; what did we do for each one of these components or  
4 the type of presentation that Jack Gauthier and Mike Wilson  
5 and David Sevougian and Jerry McNeish made for the various  
6 components; and then, we'll have a summary and discussion  
7 that talks specifically about what we in PA believe we need  
8 for the license application.

9           Just for your knowledge and because it actually  
10 came up because--and Paul Craig is gone, but when we  
11 presented to the PA Panel just a few months ago, we tried to  
12 do it in this order, but we presented the results first and  
13 then we presented the components. That failed abysmally  
14 because everybody wanted to know the details of why did you  
15 make that assumption before you got to the results. And so,  
16 we are going to request that the DOE think about switching it  
17 so they can talk about the component models first and then  
18 talk about the results second.

19           Now, the details of the technical basis report,  
20 this is where the majority of the information on the  
21 specifics of the components is going to occur. We will have  
22 just a brief introduction to what we found out in the TSPA-  
23 VA, but then we'll have the very detailed information on the  
24 components. We'll talk about what other models have been  
25 done before, what is our current approach, what kind of data

1 quality traceability did we have for these components? Then,  
2 we'll go through and talk in detail about the  
3 characterization of the component, how do we analyze this  
4 component in the TSPA, what was the base case, what were the  
5 parameters, the results, the interpretations, the sensitivity  
6 studies, and then the summary of the methods and results of  
7 what that means for repository performance for that component  
8 and what guidance does that component give to the license  
9 application.

10           Then, we're going to have a synthesis of the models  
11 that were in the TSPA. So, this will be the details of RIP  
12 and the details of how we incorporated that into the TSPA  
13 model. Then, what information do we think is needed for the  
14 LA? Whereas in this section here, we're going to be talking  
15 about all of the details of what each component thinks they  
16 need, that still doesn't give you a prioritization. That's  
17 doesn't give you a relative ranking of what do you--you don't  
18 need everything in geochemistry to the same level as you need  
19 everything perhaps in thermohydrology. So, how do we  
20 prioritize that information based on the TSPA results?

21           Okay. To kind of go back to some of the things  
22 that Cliff Ho was talking about in terms of the QA program,  
23 there's a very active effort that's underway right now and  
24 Rob Howard and Joe Shelling are working hard on helping us  
25 bring the performance assessment group into a quality

1 assurance program. I know that there were some specific  
2 questions that the Board had on what are we doing for quality  
3 assurance and data traceability. There is a plan in place to  
4 develop a phased approach for getting QA into PA that is  
5 underway right now. The documentation of the requirements  
6 that are going to govern PA has been completed and is in a  
7 formal--has completed a formal review. One of the  
8 interesting things that has come out of that is there have  
9 been two vertical slice reviews where contractors have gone  
10 in and looked from data to TSPA models. Actually, it was the  
11 other way. It was from TSPA models down to data to find out  
12 if they could pull a string on one end--as people would say,  
13 does it pull up all the way down to the data. Well, we found  
14 there were perhaps a few places. It wasn't as traceful as we  
15 might have liked. What we did out of that is we had a  
16 "lessons learned" meeting here in Albuquerque just a couple  
17 of weeks ago and the results of those findings were presented  
18 to the PA group and we're developing a checklist and we're  
19 developing a way to handle some of the problems that we found  
20 immediately. We also are going to springboard off of that,  
21 and by the time we have a list of procedures in place to  
22 govern PA, it will incorporate some of those checklists in  
23 the procedures. So, that will be formalized beyond just the  
24 good will approach that we're talking right now. Software  
25 qualification and configuration has been initiated. We do

1 have several PA codes into configuration management. There  
2 are several more to go and that's ongoing.

3           The implementation effort that we are going to  
4 undertake will be documented in the summer of '98. So, all  
5 of the issues that were developed from the vertical slice,  
6 all the issues that are outstanding for code configuration,  
7 all of the issues that are outstanding in terms of  
8 documenting analysis and conceptual models will be documented  
9 and a plan to address these issues will then be developed.  
10 So, we will know basically what all of our issues are based  
11 on this document that will come out in the summer.

12           I stole this from Bob again, too, so I could back  
13 through them. The QA issues are an important thing that  
14 we're going to address, but the other thing is what are we  
15 going to do in terms of model and information development for  
16 the LA? Where do we see the information coming and what  
17 kinds of things do we expect to incorporate in the LA? So,  
18 climate and infiltration, we don't see a lot planned right  
19 now in the site program and there are some things that we  
20 think that PA would really like to have. Those are things  
21 like information on whether the three climate states we're  
22 using are appropriate and the way we handle those climate  
23 states. We mentioned do we need to have a different form  
24 other than a step-function or is there something better that  
25 we could use for that? We need a better definition of the

1 Super Pluvial. So, that's kind of our worst state scenario.  
2 We'd like to know if we're handling that correctly. And, we  
3 would like to see appropriate analogs for the vegetation and  
4 temperature and other vegetation states than we might have  
5 right now. For infiltration, we would like to have an  
6 improved model that also takes into account some of the  
7 variability that occurs at the site like the vegetation, the  
8 soil cover, the slopes, and the associated uncertainty with  
9 that.

10           For the seepage, there are more niche tests in the  
11 plans and right now that's one of the areas where we feel  
12 fairly good because the modeling and the data that came out  
13 of the niche test to date were reasonably closely applicable.  
14 Now, the question of whether we'll get the type of  
15 information we need for the seepage test is something that we  
16 need to address and we'd also like to have maybe some analog  
17 studies at Rainier Mesa and Apache Leap so we can look at  
18 seepage in those places.

19           The thermohydrology, there is a drift-scale heater  
20 test planned and we expect to get information. Basically,  
21 are thermohydrologic models correct and are we handling  
22 matrix fracture coupling correctly? So, we're looking  
23 forward to the information that's coming out of that. We  
24 think that will help us with our thermohydrologic drift-scale  
25 models.

1           For the waste package, there's a lot of tests  
2 planned. There's a lot of tests ongoing. The C-22 test for  
3 both the generalized corrosion and for crevice corrosion is  
4 ongoing. I believe both of those are at Lawrence Livermore.  
5 So, we will get more data on C-22 specifically, although  
6 we'd like to have an analog unless Eric Von Damm (phonetic)  
7 can come up with something from an alien invasion. We don't  
8 think the ancient Romans used that much. So, we don't have a  
9 good analog for that particular material.

10           The waste form, the cladding, we'd like to  
11 incorporate the information that is currently also underway.  
12 There are several tests that are going on for cladding  
13 degradation, waste form degradation. We would like to see a  
14 little bit more information on the secondary phase  
15 development for the waste form because we think that might be  
16 an important conservatism in our model right now that we  
17 don't allow secondary phases to form and decrease the early  
18 rates of dissolution.

19           To kind of jump to the saturated-zone, there are a  
20 number of tests planned in the saturated-zone. They will be  
21 putting in additional C-well tracer tests. There are going  
22 to be more drillholes putting in with geohydrology--or hydro-  
23 geochemistry coming out of those holes. One of the things  
24 that hasn't been decided, according to Dwight, is where  
25 exactly will some of these tracer complexes in the future be

1 located? We would like to argue for something further to the  
2 south in the 10 to 20 kilometer range to the south so we can  
3 get a better understanding of what's going on in the  
4 saturated-zone. We'd like a little bit more geochemical  
5 information on the alluvial aquifers that we'll be going  
6 through so we can handle the uptake issues there.

7           So, those are just a real brief hit on where we  
8 think we're getting information. The detail of information  
9 will be coming out in that LA plan. So, that's really the  
10 place that the Board should be looking for the information on  
11 what the project has decided.

12           If we go back to the first question that you asked,  
13 we'd kind of put the question to you on how well did we do on  
14 traceability and transparency? I wanted to refresh your  
15 memory on sort of what the questions were. Hopefully,  
16 through all the different talks you've heard, we've  
17 identified the relevant processes for the key components and  
18 talked about how they can address long-term performance. We  
19 tried to identify the models that corresponded to the key  
20 components and how these models were interconnected. Most of  
21 that happened in Bob's talk. We need to identify the data in  
22 the model that forms the basis for the model and the  
23 traceability talk that Cliff gave showed how we're trying to  
24 trace back to the information that was given for those  
25 models. How the information flows from one component to the

1 next in generating total system behavior? Again Bob was  
2 trying to address the connections in his first talk. The  
3 results of the component and the total system in physical  
4 terms and then producing a simple calculation that elucidates  
5 the key aspects. And, Bob showed you his little hand  
6 calculation and was trying to get at here's a very simplistic  
7 representation of our model and here's how we would address  
8 that in a basic one-page mathematical formulation.

9           So, I have the question open for the Board now.  
10 How well did we address these questions because we're in the  
11 middle of writing this up and we need some--we would  
12 appreciate additional help. Paul gave us some help yesterday  
13 on how we could enhance our graphics. But, is the TSPA, as  
14 we presented it to you, an effective tool for assessing the  
15 safety of the potential repository? Would this TSPA generate  
16 confidence? How well did we do in our presentations for the  
17 assumptions, the information, and the results? And then,  
18 finally, do you have specific suggestions on how we can  
19 improve the process and the presentation?

20           And, you certainly have generated some of this  
21 information already during the course of the talks, and we're  
22 taking all those things under consideration. But, as you sit  
23 there and have seen the whole fleet of talks, we'd like to  
24 ask you to give us any feedback on what very specifically can  
25 we do better.

1           BULLEN: Thank you, Holly. Do you want us to take these  
2 on one at a time right now or are we going to be able to  
3 think and cogitate about this for a while and get back to  
4 you? Before we do that, I'll ask the Board if there are any  
5 questions of Holly?

6           NELSON: Hi, Holly. On the outline of the TSPA volume,  
7 there's some nomenclature that I'm not sure that I  
8 consistently understand. One of them comes to the point in  
9 the sensitivity analysis part which is currently under  
10 results. It deals with alternative models and design  
11 options.

12          DOCKERY: Okay.

13          NELSON: We were presented a couple of weeks ago with  
14 the terminology that a design option might be something that  
15 in the past we had considered to be an enhancement, more like  
16 a plug-in model, a plug-in element. Like when you're buying  
17 a car, if you want AM-FM radio or something, you can have it.

18          DOCKERY: That's an option these days?

19          NELSON: Evidently. Well, all right, CD, I don't even  
20 know. I don't have a car. So, I don't know these things  
21 anymore.

22                 But, the sense of what is an alternative model,  
23 does this represent a conceptual model of the repository or  
24 is this a model which represents a component of the analysis?

25          DOCKERY: In terms of the alternative models, the way

1 we're thinking about this is we presented the base case.  
2 This is how we anticipate the repository will behave. The  
3 base case that Bob presented you had the reference design and  
4 the natural components within a certain range of expected  
5 values that we sampled off of. That's our base case. The  
6 sensitivity analysis are basically taking exclusions on the  
7 base case. In the case of the alternate models, we generally  
8 think of that more as taking the ranges of values or the  
9 "what if" scenarios for the reference design and the  
10 reference natural system, if you will, and expanding the  
11 range, changing it, doing the sensitivity analyses, as you  
12 were saying, in the subsequent talks. The disruptive  
13 features of events and processes are kind of like an--those  
14 are like the add-ons, but we take it and we change some  
15 major--or we add on some major aspect to the base case. The  
16 design options are the things like adding the backfill,  
17 putting in the drip shield, adding ceramics, other options  
18 that, as you said, might have been considered enhancements in  
19 the past. And so, we're taking those and adding those into  
20 the base case and trying to find out what kind of performance  
21 we might expect to get if we did those add-ons.

22       NELSON: So, I guess my problem probably comes with the  
23 word "models" because I think the way you've explained it,  
24 it's more of an input parameter characterization trying to  
25 include the uncertainty associated with that as opposed to a

1 model uncertainty which is also a viable uncertainty. Will  
2 model uncertainties be considered even in terms of--I guess,  
3 one thing that came out here in the discussions was the  
4 distinctions between the different kinds of models that have  
5 been used for the hydrogeology in terms of equivalent  
6 continuum, dual porosity, WEEPS, and when are they plugged in  
7 and when are they not plugged in. And, that's a potential  
8 source of confusion, I think, for people trying to rapidly  
9 grasp what's been going on. But, in some cases, they are,  
10 indeed, alternative models.

11 DOCKERY: Yes, they are models. So, it could be  
12 alternate models and/or parameter distribution.

13 NELSON: And, I suggest that if you're going to do both  
14 that you separate them because they're pretty significantly  
15 different.

16 DOCKERY: Thank you.

17 BULLEN: I want to follow up on our semantics here. We  
18 also learned that alternative designs would be new design  
19 paradigms entirely different from the base case; lower areal  
20 mass loading, ventilation, self-shielding, those kinds of  
21 issues. Will that be post-VA where those would be seen?

22 DOCKERY: Yes.

23 BULLEN: So, would they be in the--how do we get to  
24 licensing document then, as you looked at your table of  
25 contents here? Where would we look to find those, I guess is

1 my question.

2       ANDREWS: Let me try to answer that. There will be a  
3 chapter in the design volume that addresses alternative--now,  
4 these are major alternatives, as you alluded to, not the  
5 plug-in to your CD radio.

6       BULLEN: Not the enhancement. We've got to get to  
7 semantics again.

8       NELSON: Now, wait, wait, wait. Options?

9       ANDREWS: Options.

10       NELSON: And, alternatives.

11       ANDREWS: Options. Options will be quantitatively  
12 assessed. Alternatives will be described in Volume 2 and  
13 they will be described in Volume 4 and there will probably be  
14 some qualitative description of the potential performance  
15 benefits of those alternatives, but there won't be  
16 quantitative analyses of alternatives within the VA.

17       BULLEN: And, I didn't expect that, but the other thing  
18 that I might like to see is what challenges or changes or  
19 surprises in the repository would you expect to see that  
20 would trigger your use of these options? What would make you  
21 want to use these options as opposed to the base case? I  
22 mean, that's just a thought process that's another  
23 qualitative description. But, I mean, you can go ahead and  
24 say, well, we've got, you know, 19 other enhanced alternative  
25 designs, but why would you pick one? What are the things

1 that--you're carrying these designs along because you might  
2 be surprised because there's something that you find in the  
3 characterization of the mountain that says, well, what we've  
4 got probably isn't the right design, but we've thought about  
5 that and this is what we would do. That's the kind of  
6 description that you'd like to see as alternative design  
7 paradigms--I guess, is the best way to call it--would be  
8 considered in the how do we get to the licensing from here--

9         ANDREWS: Let me try to answer that and then maybe  
10 somebody from DOE should probably follow up.

11         BULLEN: I mean, that's probably beyond what you should  
12 do.

13         ANDREWS: Because, you know, what design is actually  
14 used in the licensing and design alternatives that are, in  
15 fact, incorporated in licensing now; not Viability  
16 Assessment, but in licensing. Because even in the licensing  
17 arena, I think it asks for alternatives to be evaluated and  
18 assessed. The EIS asks for alternatives to be evaluated and  
19 it said reasonable alternatives, I think, to be evaluated and  
20 assessed. This is VA time frame. So, we want to look at  
21 options and we also want to look at alternatives. You know,  
22 and options, we looked at quantitatively; the alternatives  
23 addressed more qualitatively.

24         DOE and, in fact, everybody else who is a decision  
25 maker in this process because costs enter into this process,

1 as well as performance related--you know, there's a cost  
2 benefit relationship that has to be evaluated. So,  
3 hopefully, there's enough information in the VA to look at  
4 costs of options, the performance benefits of options, so  
5 that decision makers--you know, DOE, Congress, you know, the  
6 President, etcetera--I guess, Congress can make decisions and  
7 how to move forward.

8       BULLEN: And, I agree with that. I guess, the question  
9 I would ask is that, you know, when the option would be  
10 applied, what criteria would you use that say, well, this is  
11 probably the best option if? It's another issue that may be  
12 beyond the scope of what you're expecting to do, but it's  
13 something that--I mean, sort of when you come up with an  
14 unlimited list of options, you look at them and say why would  
15 anybody want to do this, you know, kind of question. So,  
16 when you do a succinct list, the succinct list would include  
17 we would use this option if, kind of description.

18       ANDREWS: I think you're kind of getting into sort of a  
19 licensing strategy or--

20       BULLEN: Yes, I am and I apologize for that.

21       ANDREWS: --defense in-depth strategy and perhaps, you  
22 know, DOE would want to address that in their more general  
23 comments.

24       BULLEN: That may be beyond VA. Okay. Thank you.

25       NELSON: I'm not a PA person. So, this might be a

1 little bit naive. I think I got the quote right from Abe  
2 yesterday that said that PA is not a quantitative, predictive  
3 tool. I'm wondering what you're going to present PA as?

4 DOCKERY: We've discussed the use of the word  
5 "prediction" and the wide-ranging belief that we can't  
6 absolutely predict the future. Probably, what it more  
7 closely is is a forecasting tool. Here's the range of  
8 probable futures and here's the most probable future that we  
9 think will exist. But, we're not saying we are going to  
10 predict the exact state of the repository system at any point  
11 in time.

12 NELSON: But, you do think of it as a quantitative  
13 rather than a qualitative or a relativistic prediction?

14 DOCKERY: Yes, absolutely. There's a lot of sensitivity  
15 to the word "prediction".

16 WONG: Holly, I have a few questions about the QA  
17 overhead. I'm trying to understand what you mean by the work  
18 underway to implement a QA program. Does this mean that  
19 you're trying to improve something that already exists or are  
20 you trying to put in place something that doesn't exist now?

21 DOCKERY: Yes and yes, I think are the answers. There  
22 is a QA program in place. The program that has been in place  
23 hasn't been as effective for the performance assessment end  
24 of things. Many of the procedures are written for data  
25 collection and both kinds of analyses and we found that the

1 procedures don't well-capture the exact process that PA goes  
2 through. So, one of the things we're trying to do is capture  
3 the way in which PA does business and try to write the  
4 procedure so that it reflects that, but also provides a  
5 process that can be followed from beginning to end.

6           The software configuration management is something  
7 that had been underway, but for a long time we were still  
8 determining which codes we were going to use and now we are  
9 coming to the point it's time to get those codes that we now  
10 know for sure we're going to be using in the license  
11 application and make sure we have those in configuration  
12 management.

13           There are just a number of issues that, as we come  
14 closer to licensing and we start to actually look at how hard  
15 it is to make sure all the handoffs are maintained from data  
16 collector to process modeler to PA analysts and the same  
17 along the design, we're finding that there's some weaknesses  
18 in the program and we're just trying to make it a very robust  
19 QA program that works for the licensing arena.

20           WONG: So, this QA program is designed to benefit LA,  
21 not PA?

22           DOCKERY: That is correct. We are trying to implement  
23 some of the processes so that the VA will be a better  
24 document, but these recommendations--and some are obviously  
25 things that are direct pointers to what we need to do for the

1 license application.

2       HO: I'd like to add something. In addition to what  
3 Holly said about a lot of the QA that exists that was not  
4 specifically designed for performance assessment is very  
5 true. In addition, on this project, there are again a number  
6 of institutions that individually may have their own quality  
7 assurance programs. For example, Sandia has a very robust  
8 software quality assurance program. The question is do we  
9 have a centralized QA program for the entire project? And, I  
10 think that's part of the things that we're working towards is  
11 how do we handle QA that handles all of the VA components and  
12 not just for individual institutions? So, the question about  
13 does QA exist, yes, it does exist in many of the institutions  
14 currently, and I think that we're striving to improve upon it  
15 for performance assessment calculations, for the entire  
16 Viability Assessment, or the licensing as a whole.

17       WONG: Well, the lack of this comprehensive QA program,  
18 do you think that compromises in any way the integrity of VA?

19       ANDREWS: No, I don't think so. I mean, part of the VA-  
20 -and, I think, Cliff alluded to it--is to identify the Q  
21 related exceptions of the VA process, the whole process of  
22 generating the VA from design all the way through to  
23 performance assessment. Those will be documented, all of the  
24 Q related exceptions. And, I think that helps the project,  
25 you know, say, okay, these are the processes that need to be

1 tightened up, you know, between VA and LA. So, I think, it,  
2 in fact, helps.

3 DOCKERY: I'd have to agree. I think it helps us fine  
4 tune the areas that we can put the most confidence because we  
5 are very sure of how all the information flows and it also  
6 helps us identify where we might be a little bit less  
7 confident. So, I think, it will give us a better basis for  
8 VA than we would have had before.

9 WONG: Okay, thanks.

10 BULLEN: Further questions from the Board?

11 (No response.)

12 BULLEN: Okay. I'm going to step on the Panel's toes  
13 here to keep us on time since my Board members got us right  
14 back on schedule. You're going to talk for about 10 minutes  
15 each in about a half hour. So, I'd like to move on to the  
16 next presentation.

17 We have a few comments from the NRC graciously  
18 provided by Keith McConnell, and he'll give us NRC's views on  
19 DOE's preliminary work in the TSPA-VA. Keith?

20 MCCONNELL: We appreciate the opportunity to come before  
21 the Board and present our views, and in true regulatory  
22 fashion, I've asked that the temperature in the room be  
23 raised by 10 degrees just so you're uncomfortable through the  
24 entire thing.

25 At NRC, I'm the section chief for what's called the

1 performance assessment and integration section within NRC's  
2 Division of Waste Management. There are three activities  
3 that are ongoing within that section that have a direct  
4 bearing on our review of the TSPA-VA. And, that is the  
5 continuing development and maintaining our own independent  
6 review capability in the form of developing a total system  
7 performance assessment code that we call TPA code and also  
8 the conduct of our own independent sensitivity studies that  
9 have been ongoing and has served as a basis of some of our  
10 comments to date at the technical exchanges and here today.  
11 Second, we're developing acceptance criteria that we would  
12 use to judge any particular TSPA, whether it be VA related,  
13 LA related, or any TSPA and those are in progress right now  
14 at the staff. Finally, we're developing a site-specific rule  
15 for high-level waste disposal at Yucca Mountain and that is  
16 now ongoing and we hope to have a draft to that rule  
17 completed by the fall of this year ready for Commission  
18 review.

19           With that as some context for our review, I also  
20 think it's important to give you a framework for our review.  
21 So, what I'm going to do in the viewgraphs is, first, define  
22 our role, then tell you how we intend to implement that role,  
23 and then finally we'll get around to the comments. But, I  
24 think my briefing will go fairly quickly.

25           Basically, the Viability Assessment is a DOE

1 management tool. It's going to guide the development of the  
2 course of future repository investigations and licensing.  
3 So, obviously, we have a high-level of interest in what's  
4 done in the VA. However, the Energy and Water Appropriations  
5 Act did not define a particular role for NRC in the Viability  
6 Assessment. Therefore, there's no statutory requirement that  
7 we review the TSPA-VA. However, we do expect that we'll be  
8 asked probably by Congressional sources to comment on the VA.  
9 And so, that is the basis for all of our work over the past  
10 year or so and our interactions with DOE. Our view of the  
11 VA, however, will be viewed in the contest of what is needed  
12 for licensing. We're not going to comment on the viability  
13 of the Viability Assessment. It's what's needed for  
14 licensing as we move towards that in 2002. So, that's  
15 basically NRC's role in the VA.

16           How do we intend to implement that role? Well,  
17 again, it relates back to the activities that have bearing on  
18 our review. We intend to provide the timely regulatory  
19 guidance as a good regulator should. We're developing the  
20 site-specific high-level waste rule now. Again, we expect to  
21 have a draft available sometime in the fall of this year for  
22 Commission review. Assuming they accept what we propose,  
23 that it would go out for public comment and we're shooting  
24 for a July of 1999 date for a final rule. Of course, that's  
25 a very short period of time for rulemaking, particularly a

1 rulemaking that might be done in either the absence of an EPA  
2 standard or with an EPA standard coming out somewhere in the  
3 middle of our process. We're developing acceptance criteria.  
4 Again, acceptance criteria for how we would review a TSPA.  
5 That's going to take the form of the TSPA Methodology Issue  
6 Resolution Status Report or IRSR and we expect that to be out  
7 this month, at least the Rev. 0 of that. What we want to do  
8 is insure there's continuity between what we put in the IRSR,  
9 what would eventually be in a review plan that would probably  
10 evolve from the IRSR, and what would be in our proposed rule.

11           We're going to conduct all of our reviews, the VA,  
12 the pre-VA, the LA, and pre-LA reviews from a common basis.  
13 We're going to use our TPA code as it evolves as the  
14 principal post-closure review tool.

15           We're going to facilitate sound and timely decision  
16 making. The staff has taken on the Issue Resolution Status  
17 Report as a way to document the closure of issues. We're  
18 going to document the technical differences in uncertainties  
19 in knowledge. And, I think any of you who have attended any  
20 of our technical exchanges know that at the end of the  
21 exchange, we basically sit down with DOE and document the  
22 various technical differences. Those will be coming out in  
23 tabular form in the TSPA Methodology IRSR.

24           We're going to focus in our review of the VA on the  
25 total system performance. We're going to use a single

1 overall performance measure. We're not going to look at  
2 subsystem performance objectives that now exist in the  
3 existing 10 CFR 60. We're going to use our TPA code to  
4 evaluate our own internal issues and sub-issues to make sure  
5 that we're focused on the right issues that relate to overall  
6 system performance. And, we're going to assess the  
7 contribution of individual barriers as they relate to the  
8 multiple barrier concept. Again, as many of you know, one of  
9 the underlying philosophies in NRC's approach to licensing is  
10 the use of multiple barriers and the individual component of  
11 particular barriers to provide defense in-depth. And,  
12 probably, most importantly, we're going to use the results to  
13 evaluate the need for additional site characterization or  
14 design information that should be included in a license  
15 application to make it robust.

16           Finally, we will use the review to assess DOE's  
17 progress on this path towards licensing. So, that's  
18 basically the framework of our review and again it's been  
19 derived largely through the interactions that we've had with  
20 DOE over the last year. And, I guess, I have to compliment  
21 the Board that they've been able to digest in a day and a  
22 half what it's taken us close to a year and three technical  
23 exchanges, basically, to hear from DOE.

24           But, one caveat I have on our comments is that  
25 these comments were derived from the technical exchanges. I

1 think, as you've heard over the past two days, there have  
2 been a lot of changes in approach that have some impact on  
3 what we would comment on. We do believe that DOE has made  
4 significant progress in completing a very imposing task and  
5 they've been very flexible in responding to our comments that  
6 result from the technical exchanges. Again, our independent  
7 analysis has identified a number of positive attributes and a  
8 number of questions and I'll go through those now.

9           Some of the positive attributes, we believe that  
10 DOE is effectively using its TSPA to focus its site  
11 characterization activities on those aspects of site and  
12 design that are most important to performance. We give as an  
13 example the niche tests that are looking at the seepage flux  
14 into the repository.

15           We also believe that they are using their  
16 sensitivity studies in a way that's looking at the licensing  
17 vulnerabilities. That's something that we do and we believe  
18 it's beneficial to the program that DOE also do that.

19           Our approach to the consideration of the fractures  
20 and matrix in unsaturated flow are similar, and we believe  
21 it's consistent with the existing data.

22           We believe that substantial progress has been made  
23 in addressing the near-field. I think, as maybe Jerry  
24 McNeish pointed out yesterday, in TSPA-95, there was very  
25 little information on the near-field. We believe they've

1 come a long way since then in their TSPA-VA. In our view,  
2 it's a fairly critical aspect particularly when you start  
3 talking about corrosion potentials.

4           We think that DOE recognizes again the corrosion  
5 potential of C-22 and it seems to be coming even more  
6 important with their approach to disruptive scenarios,  
7 seismicity, and volcanism. We think that it's going to be a  
8 key factor in building confidence in the overall analysis for  
9 licensing.

10           And then, DOE's approach to identifying the  
11 reference biosphere and receptor groups is consistent with  
12 ours, and we think that's a very positive aspect.

13           Okay. Some of the questions--and, again, this not  
14 an all-encompassing list. This is just basically some of  
15 what we felt were the more important issues that have been  
16 coming out of the technical exchange and we divided them into  
17 three categories; the natural barrier, the engineered  
18 barrier, and then integration and transparency.

19           Although we had an Appendix 7, I guess, a couple of  
20 weeks ago on matrix diffusion, I think there's still some  
21 lack of understanding about matrix diffusion, particularly in  
22 the saturated-zone and how much credit is going to be taken  
23 for matrix diffusion in the saturated-zone. We believe,  
24 based on our own independent sensitivity studies that this  
25 could be a key factor in the analysis.

1           We also question whether there's sufficient  
2 technical basis to support DOE's saturated flow and  
3 transport. Of course, as you heard yesterday, there's been  
4 substantial modification to that. It's now much more similar  
5 to what we're going. Again, in NRC's model, we assume  
6 basically a one-dimensional flow regime with no vertical or  
7 transverse dispersivity. It's only longitudinal  
8 dispersivity.

9           We questioned what the technical basis is for the  
10 alluvial  $K_a$ s used in the analysis. In our model, basically,  
11 we take no credit for matrix diffusion in either the  
12 saturated-zone or in the unsaturated-zone or the tuff aquifer  
13 in the saturated-zone. Therefore, the alluvium and it's  
14 porous flow characteristics become very critical to our  
15 analysis, and we believe perhaps DOE's analysis.

16           With respect to the engineered barrier, the use of  
17 C-22 as a corrosion resistant model, we believe brings some  
18 importance into how rockfall from repeated seismic events and  
19 juvenile failures--or we would call them initial failures--  
20 are considered. As Rally presented this morning, I think  
21 there are at least a lot of new information that we'd have to  
22 review, but at least we now understand that there is an  
23 approach to considering that. I guess, that would also play  
24 out to the approach used in volcanism.

25           We question whether there's sufficient technical

1 basis for estimating the performance of C-22. Specifically,  
2 some of the waste package folks at the center question  
3 whether stress corrosion cracking has been adequately  
4 considered and also question the corrosion potential values  
5 that were assigned to C-22 from the expert elicitation.

6           I guess, one other thing I would add to this list  
7 that didn't make it is the question of neptunium  
8 solubilities. I think there's a lot of discomfort at NRC  
9 about the two order of magnitude reduction in neptunium  
10 solubilities--I think, Jerry McNeish may have suggested  
11 there's a scenario, to look at that, after the VA. So, that  
12 may be addressed.

13           In the category of integration and transparency, I  
14 think we've heard a lot of discussion for both of these  
15 during the meeting. We question DOE's approach to  
16 considering alternative conceptual models. I think, David  
17 Shoesmith mentioned this morning the issue of how, I guess,  
18 it was localized corrosion is being incorporated in the  
19 analysis and the conceptual model uncertainly, how it's being  
20 convolved in the overall analysis. I think we share that  
21 concern, and it extends probably broader to alternative  
22 conceptual models for other aspects of the analysis.

23           Then, finally, I think there's been a long-standing  
24 concern on NRC's part about how expert elicitations are used.  
25 Again, we've taken the position that we don't think they

1 should substitute for readily available data collection.  
2 And, like I said, consistent with the peer review panel, read  
3 their report last night. I think they commented on that. I  
4 think the Technical Review Board has also commented on expert  
5 elicitation, in general. But, we would also question whether  
6 elicitation results are actually being updated when new  
7 information is being generated and also whether they're being  
8 properly incorporated into the analysis.

9           In the interest of time, I'll skip the last slide.  
10 It just is a summary. Thank you.

11       BULLEN: Thank you, Keith.

12           First, we want to take questions from the Board?

13       PARIZEK: How clear a signal do you give the DOE as to  
14 what's adequate and when is enough enough? Obviously, you  
15 have these issue resolution discussions and I guess it's  
16 clear from that process that, I guess, we understand and we  
17 come to the conclusion that we agree. But, in terms of the  
18 models and database and so on, is it going to be clear to  
19 them that they have enough information in the adequate  
20 quantities and quality before license application? Do they  
21 get a clear signal from you? In the nuclear power plant  
22 business, there's enough plants around that you can sort of  
23 say, well, what I'll at least do is do as I did on the last  
24 plan and I ought to be home free. But, as far as  
25 repositories, I guess the only thing we have to work with is

1 WIPP as an analogue, right, to this whole process?

2       MCCONNELL: That's probably the closest analogue, yes.  
3 I think that our goal is to when we get to the actual receipt  
4 of a license application that we know quite clearly where we  
5 are and DOE knows quite clearly where they are in the license  
6 application process in terms of before. That's the whole  
7 idea of developing these issue resolution, particularly in  
8 the TSPA Methodology Issue Resolution Status Reports, because  
9 that addresses abstractions and how conceptual models are  
10 being implemented.

11       PARIZEK: And, we've heard juvenile failures mentioned.  
12 You know, I dropped the package, I'm sorry, but that's maybe  
13 why it's going to fail. Will you folks indicate that someone  
14 has to inspect the waste package before it's placed and if  
15 it's got a dent, it's rejected? Is that something NRC  
16 specifies or is that a DOE requirement because I'd like to  
17 think that you didn't drop a package, and therefore, that's  
18 the reason for the juvenile failure. Maybe it's a  
19 manufacturing problem which is harder to control, perhaps.

20       MCCONNELL: I guess, I would beg off on that question.  
21 There are regulations for pre-closure and they are being  
22 developed as we develop the post-closure regulations for 10  
23 CFR 63 which is the high-level waste standard. So, I assume  
24 there will be something in there, but again I'm not the  
25 person to respond to that question. We focus almost totally

1 on post-closure performance.

2 BULLEN: Any other comments from the Board?

3 (No response.)

4 BULLEN: If not, Steve Hanauer wanted to make a  
5 disclaimer here and I'll allow that as my chairman's  
6 prerogative. Steve?

7 HANAUER: This is Steve Hanauer, DOE. I have to object  
8 to the statement on your viewgraph 2 that this is a DOE  
9 decision document. It is not such thing and the distinction  
10 is important. Some people may base decisions on the  
11 technical information in the document. The most obvious  
12 example that comes to mind is that Congress will or won't  
13 fund the project in fiscal year 2000. Nevertheless, there is  
14 no decision, no set of options set forth in the Viability  
15 Assessment. The decision documents are the site  
16 recommendation scheduled for 2001 and the environmental  
17 impact statement that goes with it scheduled for the year  
18 2000. The distinction is very important because a DOE  
19 decision has a lot of baggage that a company says, whereas an  
20 assessment of viability--which is what the VA is and that's  
21 why we picked those words--doesn't carry and doesn't need to  
22 carry that baggage.

23 MCCONNELL: Well, I guess, I'd just respond I think we  
24 tried to qualify what the decision making aspect was and that  
25 was assuming you get approval from Congress and the President

1 or whomever is going to review your TSPA decisions,  
2 basically, you're going to proceed in some fashion. Those  
3 decisions are the ones that we were referring to, not the  
4 over-arching decisions about whether--the Congressional  
5 decisions of whether you'll go forward or not.

6 HANAUER: Well, they make this decision every year. The  
7 VA was invented at a time when our budget was drastically  
8 slashed as a way to focus the program at a time when it  
9 looked like the site recommendation and the license  
10 application were many years in the future. It has been  
11 enormously useful to do this.

12 BULLEN: Thank you, Steve.

13 Any other questions from the Board?

14 (No response.)

15 BULLEN: Okay. Well, I'm going to go ahead and jump  
16 ahead and let Keith sit down because we're going to ask our  
17 Panel to provide comments and nobody looks like they're  
18 jumping right up. Could I start with you, Steve? Do you  
19 mind and we'll work our way toward me?

20 FRISHMAN: That's fine.

21 BULLEN: I'll do Steve, Chris, and then Jean. Is that  
22 all right? Do you want to keep it to like 10 minutes total  
23 so we can do this in a half hour? Is that all right?

24 FRISHMAN: I'll keep it to less than that.

25 BULLEN: Okay, thank you, Steve.

1           FRISHMAN: I mainly wanted to return to the question  
2 that I asked Bob yesterday about uncertainties in the climate  
3 forecast in the climate model. I think, it's a key one  
4 because you can find examples throughout the presentations  
5 from the last day and a half where what are essentially small  
6 differences in the climate model end up making pretty large  
7 differences in the overall dose predictions. I guess, as the  
8 beginning of it, you cite as the basis for your perspective  
9 climate model the past record which is of approximately the  
10 same length of time that you're trying to forecast. So, what  
11 you're doing is essentially taking a mirror image of the past  
12 record. I'm not sure that there's a really good basis for  
13 taking that essentially literally without understanding that  
14 there's probably a fairly large variability that needs to be  
15 accounted for, especially since the Seabed 0-18 record  
16 doesn't necessarily reconcile with some local record.

17           Let me give you just one example of how what is  
18 essentially a small change makes a fairly large change.  
19 That's if you look--and, I'm not saying you have to; I'm just  
20 going to throw some numbers here--at the UZ transport  
21 presentation that includes dilution. If you look at the  
22 graph on Page 28 that's the 5th and 95th percentile dilution  
23 factors, if you look at the Super Pluvial that's out at  
24 about, oh, 350,000, that comes just shortly after what you're  
25 estimating as a peak dose throughout. If you move your

1 projection of a Super Pluvial on the order of 50,000 years  
2 and look at the 95th percentile, you're going from a  
3 projected dose of about 1100 mrem/yr up to 1500 or 1600  
4 mrem/yr and I think that's significant. It's one where at  
5 this stage of the game, people are going to be looking  
6 primarily at your ability to project, what your assumptions  
7 are in your projections, and ultimately what the predicted  
8 doses are.

9           Just as the question was asked yesterday, aren't  
10 you worried about 200 mrem, well, yeah, I'm worried about 200  
11 mrem. I'm really worried about over a rem in a climate model  
12 where your own experts are telling you that there's--or  
13 appear to be telling you that they sense a pretty high degree  
14 of variability in what that projection ought to be. So, I  
15 don't know how you might handle that, but I think it's one  
16 where just as you have already said you can't predict future  
17 human activity, well, with climate, I don't think you can  
18 predict it anywhere as closely or as glibly as you appear to  
19 be doing it. From my observation here anyway, it has some  
20 real dose consequences that are up on the high end and I  
21 think will be particularly disturbing to other people.

22           Another point that I wanted to raise is when you're  
23 talking about options and alternatives, you seem to have  
24 settled in very deeply now on your interim standard. Is 20  
25 km viewed in the VA as an option or an alternative or

1 neither?

2       ANDREWS: The VA, 20 km is the expected distance. So,  
3 it's neither; it's fixed.

4       FRISHMAN: All right. So, does that mean that you're  
5 not going to do alternative quantitative presentations at  
6 like 5 km?

7       ANDREWS: We will do, in part. The EIS is doing some  
8 analyses at 5 km, 30 km, 50 km. I think some of those  
9 analyses will be brought into the VA, and based on comments  
10 we've heard yesterday and today, I think probably will be  
11 brought into the VA.

12       FRISHMAN: Because, first of all, I've heard at  
13 different times what the basis for the 20 km might be, but at  
14 the same time, there's absolutely no precedent for it other  
15 than that's what the Department decided they wanted to do.  
16 And, I think, from a standpoint of at least looking back at  
17 what was a result of at least public review of a previous  
18 rule--meaning 40 CFR 191--5 km, as the boundary of the  
19 accessible environment, was something that at least has  
20 precedent for having been reviewed by the public and whether  
21 everybody liked it or not, it went through a public process  
22 of having been accepted as a regulation. 20 km has no such  
23 precedent in anything that I know of.

24               Also, just in thinking, I know the standard is  
25 instructed to be site-specific. But, if you were dealing

1 with a location, for instance, in New York or Pennsylvania,  
2 and you said we're not going to count people and exposures to  
3 people until we're 20 km away from the source, and if you  
4 said that in a room similar to this, I imagine the roof  
5 wouldn't hold on this building. So, just to put that in  
6 perspective.

7           Another thing that I find kind of interesting and I  
8 was looking at and I didn't try to calculate it through, but  
9 I think it has some fairly large consequences is if you look  
10 at the--or think about the question that was asked yesterday,  
11 what if you have all juvenile failures? I think that's an  
12 important question not because I think it's likely that you  
13 will, but because I think it's significant that just one  
14 juvenile failure that you have used as an assumption appears  
15 to make a real difference in the early portion of the dose  
16 curves. So, the question may be more appropriate; what if  
17 you had 5 percent juvenile failures? Five percent juvenile  
18 failures would make all of these curves look very, very  
19 different and would make anybody's consideration of the site  
20 probably very, very different just from a perception of, you  
21 know, what doses they may think is acceptable and may not.

22           I don't think it's out of the question to use some  
23 real percentage failure numbers because you're dealing with a  
24 lot of containers. Just for spent fuel, you're dealing with,  
25 what, 10,000 to 12,000 containers for commercial spent fuel.

1 If you look at such things as the quality of pipeline that  
2 is produced, yeah, the failure rate is way, way down there  
3 because industry isn't going to allow it to be anything worse  
4 than these very, very low failure rates. But, you're also  
5 dealing with things that are a little bit more complex than  
6 pipeline, things that require a lot of internal engineering  
7 to have everything right, and you also have to remember right  
8 now that we're sort of in the early ages of making dry cast  
9 for storage either at reactor or centralized facilities. The  
10 track record is not that good on the few that have been  
11 fabricated. There are, at least, a couple of them out there  
12 out of, what, less than 25 or 30 that can be considered  
13 juvenile failures. So, I think, you need to use a realistic  
14 number for juvenile failures, especially since you have such  
15 a large projected number of containers and we know that there  
16 are going to be failures and fabrication quality, I don't  
17 think in this business, you can assume is going to be near  
18 perfect. I think you have to make the alternative assumption  
19 until there's a track record that may let the assumption be  
20 altered at some later date.

21 I guess, the last point is I'm really concerned  
22 about the seep fraction. I'm not sure that I really  
23 understand the basis that you have for it. The whole  
24 performance assessment is extremely sensitive to it, and I'm  
25 not sure that from your projections from really what little

1 data you have are meaningful at this point. If you want to  
2 look, for instance, at what must have been seeps, like I  
3 mentioned yesterday, the presence of chlorine-36 on fractures  
4 in the ESF, you see that they're largely concentrated to the  
5 northern end. Whether you were surprised or not, you really  
6 didn't see them in the southern end. More than half of the  
7 emplacement area is going to be in the northern end which  
8 extends north of where the current ramp is. So, in the space  
9 of about a mile and a half, you saw what obviously were seeps  
10 over the last 50 years and a number on the order of tens in  
11 only about a mile and a half and you're going to have a  
12 repository with maybe 100 miles. Just extrapolating out, I  
13 think, is an interesting exercise, but I don't think that  
14 it's the end of the exercise. I think, your assumptions  
15 about low seeps--for instance, in your layout where you  
16 flatten the draft of 45 meters, what do you have, three  
17 effective seeps in 45 meters? In some places, that may be  
18 realistic, but I doubt that's the rule for the volume of rock  
19 that you're looking at and I know you don't have data to  
20 support in the volume of rock that might be the repository.  
21 You have practically no data in that volume of rock other  
22 than one line down the east side of it.

23           So, that's some of the things that I observed over  
24 the last couple of days.

25           BULLEN: Thanks, Steve. And, this does not require a

1 response. This is just comments from our Panel.

2 And, I'll move on to Chris who can have an equivalent 12  
3 minutes if you want to get ample time. I'll give everybody  
4 12 minutes.

5 FRISHMAN: I thought I was counting right.

6 BULLEN: No, you were two minutes long, Steve.

7 WHIPPLE: Like Steve, i'll try to hold it to less than  
8 10 minutes with the best of intentions.

9 I've got four points I want to make. First, I'll  
10 try to go from kind of general to specific and programmatic  
11 to technical. First, I really want to compliment the program  
12 for the progress over just the last couple of months. I've  
13 heard the presentation on TSPA a number of times and not only  
14 is the presentation getting better as they have some  
15 experience and a number of people have commented on the  
16 usefulness of the graphics and so forth, but the technical  
17 improvements of parts of the analyses in a short period of  
18 time, I find really astonishing in a program this large and  
19 something that one would expect to be more inertial. They  
20 have not thrown an anchor to halt and do VA and to worry  
21 about new science and analysis next year. It moves ahead. I  
22 know from the reviews in trying to keep up with the program  
23 that our peer review panel has done, this gets to be a hard  
24 problem because the work is well out in front of its  
25 documentation, but that's our problem.

1           In particular, I think the colloids work which was  
2 a low point six months ago is much, much improved.  
3 Presentations I heard at this meeting removes a complaint  
4 from my next report on the absence of juvenile waste package  
5 failures. I'm glad to see those are in. The presentation  
6 that lets me see what happens for different climates states  
7 and doesn't Monte Carlo the whole gamish together, I find  
8 terribly useful. So, all and all, a real congratulations for  
9 nice work that's been done.

10           Now, you always follow up the compliments with  
11 criticisms. Two. As I mentioned yesterday, I'm not  
12 convinced that the uncertainty analysis is capable of really  
13 identifying the key uncertainties. The model is too complex  
14 a mixture of bounding and realistic analyses. In some cases,  
15 the true uncertainties are not included and instead a point  
16 estimate is put in. We heard several times the question of  
17 why cladding doesn't show up as a more sensitive parameter, I  
18 think is an illustration. I went back last night and looked  
19 at one of the overheads that was shown several times  
20 yesterday, the one having to do with neptunium solubility.  
21 That curve shows 10 data points for dissolution measurements  
22 of neptunium solubility. Only one of those data points falls  
23 within the range used in the analysis. The other nine are  
24 below that range. I suspect that somewhere an analyst is  
25 trying to be conservative. I know in the report that came

1 out, Dave Sevougian talks about different chemical forms of  
2 neptunium and perhaps these studies have to deal with  
3 different forms--excuse me, it was Dave Sassani--had to do  
4 with different forms that we might expect to find in the  
5 mountain. But, those differences, I would think, would tend  
6 to drive uncertainties broader, the lower limit would be  
7 lower. The arrest code predicts lower numbers. So, I'm  
8 picking that to argue that the neptunium analysis is right or  
9 wrong; only that the starting distributions that give rise to  
10 the sensitivity analysis are in some cases probably over  
11 extended for some parameters, too narrow for others, and I  
12 think that in the end common sense has to be the guide to  
13 performance sensitivity more than what the mathematics tell  
14 you.

15           The third point on that. One of the parameters  
16 that did show up, I think, in second place in most of the  
17 sensitivity analyses that was clearly a high item in Keith's  
18 talk, NRC's list, is how C-22 performs. If anything is  
19 obvious from the presentation yesterday, that is where most  
20 of the isolation occurs. Therefore, I think that the work to  
21 assure that that part of the analysis is robust is far more  
22 important than some of the other aspects of the analysis.

23           I'm not picking on any of that work specifically,  
24 but one of the take home lessons for me, as I see estimates  
25 of large numbers of waste cans persisting out into the

1 hundreds of thousands of years, it struck me in Rally's talk  
2 which is, I think, by 100,000 years or so either by intention  
3 or by seismic event, those drifts are going to be backfilled.  
4 If the corrosion model is really based on corrosion in an  
5 air filled drift and the processes and rates and events are  
6 far different in a backfill drift, that needs to be  
7 addressed. I know if was on the list to do as a sensitivity  
8 analysis, but it needs to be followed up the chain. Are the  
9 experiments being done at Livermore meaningful for the  
10 backfilled case if that's, in fact, the likely future  
11 situation either by design or by seismic event?

12           Okay. Fourth point and this has to do with kind of  
13 a real time comment on the SZ flow work we heard yesterday  
14 and that some of our Panel heard Wednesday afternoon. I do  
15 want to comment that we understand this work is very new.  
16 The ink isn't dry. I sure wouldn't want to show my first  
17 drafts to this room and they showed it to us. So, this is  
18 just kind of an online comment of technical thoughts that  
19 occurred to me in looking at that work.

20           The general notion of a dilution factor that has  
21 been adopted for the revised SZ analysis and in large part  
22 because of the critical comments from Al Freeze and Gelhar,  
23 may be an appropriate way to do it, but those dilution  
24 factors are clearly scale dependent. The amount of lateral  
25 mixing one would expect to get in a plume that's over 1,000

1 meters wide is clearly less than in a plume that's a meter  
2 wide. So, the choice of six streamtubes in the analysis, you  
3 have to adjust that scale for the dilution factors. I  
4 suspect that when you get through doing those dilution  
5 factors, doing the super position and addition of different  
6 concentrations back on top of themselves, what started out as  
7 individual dilution factors of 10 in each of those  
8 streamtubes probably works out to a much lower dilution  
9 factor for the whole plume which is what I think Gelhar had  
10 in mind when he talked about a dilution factor of 2.

11           In addition, I think the SZ treatment of a single  
12 canister failure, whether it's a juvenile failure or whether  
13 it's the stylized human intrusion calculation, is probably  
14 not suitable for the existing models. To take a single  
15 injection at a point into the SZ and to use a box model many  
16 hundreds of meters wide is questionable. Clearly, the  
17 dilution factor for a single injection will be much greater  
18 than for 1,000 meter wide plume, but I'm not sure the same  
19 tools are very much applicable other than the work to assess  
20 the general direction and locations downgradient that one  
21 wants to do the assessment at.

22           Those are my comments.

23           BULLEN: Thank you, Chris.

24           So, this means Jean gets 12-1/2 minutes.

25           WHIPPLE: Did I overrun?

1 BULLEN: No, you're fine.

2 Jean?

3 BAHR: The problem with going last is that a lot of the  
4 things that you wanted to say have been said by other people,  
5 but I'll repeat some of them anyway.

6 I haven't had the opportunity to follow this  
7 process as closely as the other two panelists, but I did see  
8 some of the TSPA-93 work back when I was serving on a  
9 National Research Council committee. And, I certainly  
10 appreciate the increased transparency and explanation that's  
11 provided in this version. There are many fewer figures that  
12 were presented where I had to say, well, you know, what were  
13 the assumptions in this, what do you mean by your base case.  
14 There's still a little bit of that in some of the figures  
15 that we saw in several of the presentations where some of the  
16 assumptions that were inherent in the simulation results  
17 weren't necessarily specified. So, I think, that's something  
18 that you've gone a long way with, but just to keep in mind  
19 for future presentations that it's important to specify  
20 exactly what is your base case scenario, and when you're  
21 doing sensitivity analyses, exactly what parameters you're  
22 varying and what parameters you're keeping fixed. But, it's  
23 certainly a lot easier to tease out interesting questions  
24 when you know what the assumptions are there.

25 I think that the sensitivity analyses that we were

1 shown, several other people have commented on this that while  
2 they pointed to five most sensitive parameters, if you look  
3 more carefully at the base case scenarios, it's apparent that  
4 there are some things that are important in there that didn't  
5 fall out as the most sensitive parameters. That may be  
6 because there was very little uncertainty associated with  
7 those. But, just a few of the factors that are of interest  
8 to me that I'll mention. The first is the relationship  
9 between the dose peaks and the climate change that a number  
10 of people have commented on suggests that we need a lot more  
11 sensitivity work on the climate scenarios and, in particular,  
12 on the timing of the climate change, on the shapes and  
13 duration, how does climate change from one mode to another?  
14 Is it instantaneous or is it more gradual? Is a Super  
15 Pluvial always followed by a dry event or dry period? Is  
16 that realistic? What's the consequence of that assumption?  
17           The second issue is that the volume of infiltrated  
18 water that actually contacts the waste is very important for  
19 the release of solubility limited nuclides like neptunium and  
20 it's not--it wasn't clear from the presentations what  
21 percentage of the total flux going through the mountain that  
22 represented. Is it half a percent, is it 1 percent, is it 5  
23 percent? I think that those are important things to show to  
24 people. And, associated with that is what are the conceptual  
25 uncertainties in the models of infiltration? In particular,

1 how would focusing a diversion away from the drifts in  
2 response to thermal effects perturb your assumptions of how  
3 much water is coming into contact with the waste? We've also  
4 heard that drift collapse needs a lot more attention. One of  
5 the things that that can affect is this focusing or diversion  
6 of flow and that's not built into the models. There's also a  
7 lot of question about the drift collapse timing; not only its  
8 effect on the structural integrity of the canister, but on  
9 the permeability distribution around the drifts. So, that's  
10 something else that's been pointed out.

11           I think the saturated-zone model that was presented  
12 with streamtubes is certainly more conservative than the  
13 version that I saw, just some overheads that was apparently  
14 presented about a month ago. But, there needs to be some  
15 better linkage between the revised zonation and the  
16 concentrations at the water table directly beneath the  
17 repository. There's some questions about how you calculate  
18 equivalent concentrations at the 20 km distance, and I  
19 understand that this is more work and that some of those  
20 issues are still being ironed out.

21           So, I think that's the sum of my comments.

22       BULLEN: Thank you, Jean.

23       BAHR: I think I took less than 10 minutes.

24       BULLEN: Oh, does Bob get to talk? I guess Bob does get  
25 to talk. Bob? I should have looked at the list. Bob, would

1 you, please, take--well, let's see, you get nine and a half,  
2 I guess. We'll average Jean because she was short. No, you  
3 can 10; go ahead?

4       ANDREWS: I don't know whether to go point by point. I  
5 think all the comments we've received throughout the last day  
6 and a half including the ones just summarized by Steve,  
7 Chris, and Jean are all excellent comments. And, you know,  
8 this is a work-in-progress and the production of the VA  
9 itself and the documentation of the VA itself, as Holly  
10 pointed out, is also work-in-progress. All of these  
11 comments, I think, will be addressed. We've tried to be, you  
12 know, as flexible as we can. Sometimes, a comment isn't  
13 addressed quantitatively; it's addressed with additional  
14 analyses or additional figures to illustrate what's going on  
15 a little better. As time goes on, we're trying to improve  
16 all of our graphical outputs and communication tools of  
17 what's going on. Does that mean that all uncertainties that  
18 have been identified in the last day and a half that perhaps  
19 have not been addressed will be addressed quantitatively?  
20 Probably not. Some of them will still remain at the end of  
21 VA, and we'll acknowledge that. There are still some  
22 uncertainties that we have not had a chance to address or  
23 evaluate the potential consequences of in the VA. We will  
24 discuss them more probably qualitatively and then point to  
25 that this is an issue that still needs to be addressed

1 between VA and LA; so, please, see Volume 4.

2           I think Chris' comment, there was a part of us who  
3 think we should have thrown out the anchor a while ago,  
4 especially as we go through the documentation of this thing.  
5 We've been a little bit too flexible to accommodate new  
6 information and some of that information changing rapidly  
7 with time. You know, the VA is a snapshot, the TSPA is a  
8 snapshot, and today is a snapshot. We may decide between now  
9 and the actual publishing of the VA that, you know, the  
10 priority of a particular issue warrants additional analyses,  
11 whether those have come up from the Board or from NRC or from  
12 others. So, I think we have to always take that into  
13 consideration. We do still have a lot of work to do. We  
14 welcome all of the comments. I think that will help the  
15 authors, most of whom were presenters, and there's other  
16 authors, as well. Right, they better document in a more  
17 complete document and a more thorough document and a more  
18 integrated document. So, I think, we welcome them.

19           I won't go point by point through each of the  
20 comments that we received just now. I do have rebuttals to  
21 them, but maybe I'll just save those for the documentation of  
22 the VA when we start writing it and complete the writing of  
23 it. That's probably the best place to put all of our  
24 responses. I think each one of them warrants and everything  
25 we've heard in the last day and a half, as well as comments

1 we received from NRC a month ago, comments we continually  
2 receive from our own peer review panel, comments we receive  
3 from the repository consulting board, comments even internal.  
4 You know, we've gone through a long, some might say, arduous  
5 process of getting all the project people together for each  
6 of these components, conducting workshops on each of the  
7 components for some of the key components, holding open and  
8 expert elicitations involving outside people to enhance the  
9 uncertainty range for some of the key components, all of  
10 those provided a lot of, I think, very useful external, as  
11 well as internal, feedback into the TSPA organization and,  
12 hopefully, will create a better VA document.

13           So, we welcome this. The timing was lousy, of  
14 course, but the timing was great. Had we had this a month  
15 from now, we would have been a little further in writing, but  
16 it might have been a little less flexible in what we actually  
17 wrote. So, we thank the Board for this opportunity to lay  
18 out things in front of them and take the arrows now rather  
19 than three months from now. We'll probably take some then,  
20 too, but let's get some of them out in the open now.

21           BULLEN: Thank you, Bob. And, we do reserve the right  
22 to sling arrows at any time.

23           ANDREWS: Yeah, I know.

24           BULLEN: Well, as the chair of the PA Panel, I want to  
25 issue some closing remarks. First of all, I want to

1 reiterate and to also compliment you and express our  
2 appreciation for your timing. I realize how bad the timing  
3 was to present this, but I want to compliment you on both the  
4 presentations, the graphics, the improved quality that we've  
5 seen over the course of the past two or three months in all  
6 aspects of what you've been doing. It's not to say that it's  
7 perfect and that you're there yet, but the clarity has  
8 significantly improved, the technical content has improved,  
9 and we also appreciate the timing of this meeting and how  
10 difficult and arduous it was for you to do this at this time.  
11 We do want to give you some timely response so that maybe we  
12 can make the process a little bit later on downstream  
13 somewhat easier.

14           Now, I also have to issue the disclaimer and this  
15 disclaimer probably should have been issued with my first  
16 speech, but I'll issue it now. The comments made by  
17 individual Board members are just that. During the course of  
18 this Panel meeting, our comments are the comments of  
19 individual members and they do not necessarily represent  
20 Board policy, but they do give you an indication and in some  
21 cases maybe a very strong indication of the direction of  
22 thinking that we have as a Board on these issues.

23           In light of the fact that you'd like some timely  
24 response, we will probably provide an informal response,  
25 comments, feedback, within a few weeks. I've asked the

1 members of the Panel to provide me with such comment and it  
2 will probably be sort of an informal kind of comment. There  
3 will be formal response. The formal response, however, will  
4 probably not come until after our June Board meeting because  
5 it's a Board policy comment and not just the Panel comment.  
6 So, we'll have to go through the full Board before we get the  
7 letter that would come out. That letter most likely would be  
8 to the OCRWM office with copies to you. But, we will get you  
9 feedback which is the purpose of having this meeting before  
10 June so that you can get some feedback. I just wanted to  
11 reiterate that. That's the goal.

12           Now, another comment on the use of TSPA-VA and we  
13 heard that it was a--and I'm going to get this wrong--a  
14 quantitative predictive tool or a qualitative? Quantitative  
15 predictive tool? Not quantitative predictive tool, okay.  
16 Well, if it's not--don't get the predictive tool anyway.  
17 I'll take that out of context.

18           I guess I'd like to comment on a couple of things  
19 because I think it's very important that the TSPA-VA be used  
20 to fine tune, refine, redefine the design of the repository,  
21 the design of the waste package, specifically for license  
22 application. So, don't short sell the PA that's been done  
23 for VA. The reason I say that is because the analysis that  
24 you've done in this can go a long way to helping you make  
25 design decisions that would be appropriate and help ease the

1 licensing process because you've got the basis for the  
2 decision already laid out. It also indicates the importance,  
3 as we saw today, of getting very good data on the seepage  
4 flux because that's one of the issues that constantly arose  
5 as being important.

6           We, as the Board, would like you to get that data  
7 in the enhanced characterization of the repository block  
8 that's currently under construction. We encourage the niche  
9 tests, but I understand that the Board when it originally  
10 wanted you to do that just really wanted to know what was the  
11 ability to reduce the hydrogeologic uncertainty associated  
12 with crossing the block and telling us what you're going to  
13 see in the drifts. Obviously, you know, my druthers would be  
14 to close the drift off for a year and walk in and take a  
15 look, but they may not be the case. But, using the VA as the  
16 ability to drive the science and drive the design may be a  
17 very important factor.

18           Now, again, I want to express my thanks from the  
19 Board and specifically from the Panel on Performance  
20 Assessment. With that, I want to declare this meeting  
21 adjourned.

22           (Whereupon, at 12:07 p.m., the meeting was adjourned.)

23

24

25

1

2

3