

UNITED STATES
NUCLEAR WASTE TECHNICAL REVIEW BOARD

WINTER BOARD MEETING
January 20, 1998

Longstreet Inn
Amargosa Valley, NV 89020

BOARD MEMBERS PRESENT

Dr. Jared Cohon, Chair, NWTRB
Dr. John W. Arendt
Dr. Daniel B. Bullen
Dr. Norman L. Christensen, Jr.
Dr. Paul P. Craig
Dr. Debra S. Knopman
Dr. Priscilla P. Nelson
Dr. Richard R. Parizek
Dr. Alberto A. Sagues
Dr. Jeffrey J. Wong

CONSULTANTS

Dr. Don Runnells, Shepherd Miller Corp., Fort Collins, CO
Dr. Jane Long, University of Nevada, Reno
Dr. Allan Freeze, R. Allan Freeze Engineering
Dr. Lynn Gelhar, Massachusetts Institute of Technology

SENIOR PROFESSIONAL STAFF

Dr. Carl Di Bella
Dr. Sherwood Chu
Dr. Daniel Fehringer
Mr. Russell McFarland
Dr. Daniel Metlay
Dr. Victor Palciauskas
Dr. Leon Reiter

NWTRB STAFF

Dr. William Barnard, Executive Director
Michael Carroll, Director of Administration
Paula Alford, Director of External Affairs
Karyn Severson, Congressional Liaison
Frank Randall, Assistant External Affairs
Auyako Kurahara, Writer/Editor
Linda Hiatt, Management Assistant
Jonathan Dunn, Staff Assistant

I N D E X

	<u>PAGE NO.</u>
Call to Order/Welcome	
Jared Cohon, Chair, Nuclear Waste Technical Review Board (NWTRB)	4
Nye County Welcome	
Cameron McCrae, Nye County Commission.	11
Update on the high-level nuclear waste management program	
Lake Barrett, Acting Director, Office of Civilian Radioactive Waste Management (OCRWM)	15
Update on Yucca Mountain surface and underground exploration	
Russell Dyer, Acting Project Manager Yucca Mountain Site Characterization Office (YMSCO)	43
Update on Yucca Mountain environmental programs	
Wendy Dixon, Assistant Manager for Environment, Safety and Health (YMSCO)	83
Government Performance and Results Act (GPRA) session	
Mike Carroll, NWTRB.	118
Questions for the Board and staff from the public	
Jared Cohon, Chair, NWTRB.	125
Government Performance and Results Act (GPRA) evening session	
Mike Carroll, NWTRB.	160
Questions for the Board and staff from the public	
Jared Cohon, Chair, NWTRB.	160
Recess until 8:00 a.m., Wednesday, January 21. . .	174

1 P R O C E E D I N G S

2 COHON: Good afternoon. We're about to get started.

3 Would you please take your seats?

4 Good afternoon. My name is Jared Cohon. I'm the
5 Chairman of the Nuclear Waste Technical Review Board. It's
6 my pleasure to welcome you to the Board's first meeting of
7 1998 here in Amargosa Valley. And you cannot hear me in the
8 back; is that right?

9 HIATT: We can't hear you either.

10 COHON: Okay. We're working on it. Is that better,
11 Linda?

12 HIATT: A little higher.

13 COHON: Can you hear me now?

14 HIATT: Yes.

15 COHON: I can hear me now, too. I'll continue. If it's
16 still difficult to hear, please wave your hand again.

17 Again, I'm pleased to welcome you here to this
18 meeting of the Nuclear Waste Technical Review Board.

19 We want you to know who the members of our Board
20 are, and for that reason, I'm going to introduce them to you.
21 As I do so, I'd like each of my colleagues to raise your
22 hand or stand up; at the very least, turn around so that the
23 members of the audience can see you.

24 You should know that every one of our--can you

1 still hear me?

2 HIATT: Yeah.

3 COHON: You should know that every one of our members
4 serves on the Board on a part-time basis. Every one of us
5 has another job, usually full time, and in some cases more
6 than full time. In my case, I, in addition to chairing the
7 Board, I'm president of Carnegie-Mellon University in
8 Pittsburgh.

9 You will note that as I introduce the members, I
10 will indicate some of them as chairs of panels. For the
11 purpose of keeping track of and doing our work for this large
12 and complicated project, the Board has organized itself into
13 five panels, and you'll be hearing about them, as I said, as
14 I do the introductions.

15 John Arendt is a chemical engineer. He retired
16 from Oak Ridge to form his own consulting firm. He
17 specializes in many aspects of the nuclear fuel cycle, of
18 which standards and transportation are two examples only. He
19 chairs the Board's panel on the waste management system.

20 Dan Bullen is Associate Professor of Mechanical
21 Engineering at Iowa State University, where he specializes in
22 nuclear engineering, and in particular, nuclear waste
23 management. He chairs the Board's panel on performance
24 assessment.

25 Norman Christensen is Dean of the Nichols School of

1 Environment at Duke University. He brings expertise to the
2 Board in the areas of biology and ecology.

3 Paul Craig is Professor Emeritus of Engineering at
4 the University of California at Davis. He's a physicist by
5 trade, and his special expertise and research interests at
6 present are in energy policy issues related to global
7 environmental change.

8 Debra Knopman is the Director of the Center of
9 Innovation and the Environment in Washington. She's a former
10 deputy assistant secretary of the Department of Interior, a
11 former scientist and science manager at the USGS, an expert
12 in groundwater hydrology. She chairs our panel on site
13 characterization.

14 Priscilla Nelson is Program Director in the
15 Directory for Engineering of the National Science Foundation
16 in Washington. She's a former professor at the University of
17 Texas and an expert in geotechnical engineering. She chairs
18 the Board's panel on repository.

19 Richard Parizek is Professor of Hydrologic Sciences
20 at Pennsylvania State University, an expert in geology and
21 groundwater hydrology. Richard will be chairing tomorrow's
22 sessions on the saturated zone.

23 Alberto Sagnes is Professor of Civil and
24 Environmental Engineering at the University of South Florida.
25 He's an expert in materials and corrosion, with a particular

1 expertise in concrete and its behavior under extreme
2 conditions.

3 Jeff Wong is Chief of the Human and Ecological Risk
4 Division of the Department of Toxic Substances Control of the
5 California EPA in Sacramento. He's an expert in risk
6 assessment, and he chairs our panel on environmental
7 regulations and quality assurance.

8 The Board from time to time engages consultants for
9 particular meetings and for other purposes, and I'm pleased
10 to introduce to you today those who will be participating in
11 this meeting; Don Runnells, Jane Lon, Allan Freeze and Lynn
12 Gelhar.

13 Allan is a former editorial colleague of mine, and
14 Lynn, my former teacher, so I will not be asking any
15 questions about groundwater hydrology at this meeting.

16 The Board is supported by a very competent staff,
17 most of whom are here today. I'm not going to introduce them
18 in the interest of time. I encourage you to meet them during
19 breaks and after the meeting.

20 We have a very full agenda over the next day and a
21 half. The first day, that is the rest of today, begins with
22 a series of updates from the Office of Civilian Radioactive
23 Waste Management and its project managers. We're very
24 pleased that acting director, Lake Barrett, can be with us
25 today. He'll be talking about major events and changes that

1 have taken place in the program since he last addressed the
2 Board in October of '97.

3 Dr. Russ Dyer, the acting project manager, will
4 provide us with an overview of significant results obtained
5 in the site characterization effort.

6 And Wendy Dixon, the assistant manager for
7 Environment, Safety and Health, will describe the work being
8 undertaken to develop the Environmental Impact Statement for
9 the repository. This EIS will be part of the Secretary's
10 decision, by the way, to recommend to the President that
11 Yucca Mountain be developed as a site for a repository. The
12 Board believes it is critically important that this document
13 provide rigorous analysis of the key technical environmental
14 issues.

15 After these presentations, we'll move into a
16 somewhat different mode from the Board. We want to solicit
17 the input from members of the audience, all of you, or any of
18 you who care to speak, on the draft plan that the Board is
19 putting together in response to the Government Performance
20 and Results Act, or it's known effectively in Washington as
21 GPRA. There are copies of this plan available, or they will
22 be if they're not at the moment, and we urge you to comment
23 upon them. We'll be making a presentation on this plan in
24 the afternoon and invite your comment afterwards.

25 Another departure is that we're going to repeat

1 that performance this evening. After a dinner break, we'll
2 reconvene, and we'll be entertaining your questions again on
3 our plan and about anything you want to talk about, and in
4 particular, technical activities carried out by the Yucca
5 Mountain Program.

6 As this Board has shown in the past, it is
7 interested in engaging with members of the public who have
8 interest in this program, and in this wide ranging, we
9 expect, session this evening, we will welcome questions on
10 any related topics. We will either do our best to answer
11 them or try to ask people from DOE who might be in the
12 audience to field those questions. In any event, you will be
13 heard, and we expect some interest and discussion.

14 One of the questions that's asked from time to
15 time, especially after or during one of our meetings, is when
16 a particular member of the Board speaks up in response to a
17 question, is that member speaking for the Board?

18 As many of you know, and if you don't, you're about
19 to see for yourselves, the Board is made up of a group of
20 individuals, each with his or her own style, personality,
21 interest and motives. So the answer to the question,
22 frankly, is quite simple, they speak for themselves.

23 The Board conveys its findings, conclusions and
24 recommendations in writing in the form of our formal reports,
25 letters to Congress and the Secretary and/or the director of

1 the program and in written congressional testimony.

2 Comments by individual members, including me, are
3 just that. Whether comments of a Board member eventually
4 become a Board position, only time will tell.

5 Another matter that has come up in the past and
6 we've discussed at these meetings is the communications and
7 interactions between the Board and DOE. At our last meeting
8 in October that we held in Washington, we made a commitment
9 to provide to the DOE relatively rapid feedback following
10 each of our meetings in the form of letters to the program
11 director. Such letters are intended to give initial Board
12 reactions to at least some of the key issues covered at the
13 meetings.

14 We just recently forwarded a letter report to
15 Congress and to Secretary Peza, and 10 days ago, we sent a
16 letter to Lake Barrett, the acting director. Copies of both
17 documents can be made available by request.

18 Now, finally, a few housekeeping administrative
19 items. We ask all participants to sign in in the back, if
20 you will. We'd like to know who comes to these meetings.
21 And as those of you who have come to these meetings before
22 know, they are on the record. That's why Scott is sitting
23 here. We ask, therefore, that all speakers, whoever's
24 speaking, whether it be a Board member or presenter or
25 questioner or commenter from the audience, please speak

1 clearly, into the microphone, and before you start speaking,
2 tell us who it is you are. You'll see that the members,
3 Board members themselves do this.

4 I would also ask for those of you who would like to
5 speak during the public comment period, either this afternoon
6 or this evening, that you sign up at the back with Linda.

7 Linda, you can hear? Good. There's Linda.

8 If you would sign up, that would be helpful to us.

9 Now, with that, let me turn to our agenda. I'm
10 pleased to introduce to you Carmen McCrae, Vice Chairman of
11 the Nye County Commissioners. Mr. McCrae is from Pahrump,
12 and he has appeared before this Board before, I understand
13 seven or eight years ago. So, Mr. McCrae, we are pleased to
14 welcome you back.

15 MCCRAE: Thank you very much. Ladies and gentlemen and
16 visitors, good afternoon on behalf of the Nye County Board of
17 Commissioners and the residents of Nye County and the
18 community here, Amargosa Valley. I am pleased to welcome you
19 to this community. I am even more pleased that you are here
20 to be welcomed.

21 We are fully aware of the difficult appropriation
22 experience that you have been through as a result of the
23 Board's stand on interim storage. You should know that we
24 have been strong advocates for the Nuclear Waste Technical
25 Review Board on Capitol Hill. Nye County believes that you

1 have a critical and unique oversight role that must be
2 sustained.

3 And we can empathize with your challenge of
4 convincing Congress of the importance of your work. Nye
5 County and other affected units of local governments have
6 been without the funds needed to conduct meaningful or
7 monetary oversight since fiscal year '96. We are pleased
8 that Congress has reinstated our funding. As has always been
9 the case, Nye County is committed to maintaining an
10 independent oversight program of high quality and scientific
11 integrity.

12 You should know that we value immensely our on site
13 representative role in independent scientific investigations
14 above all other work performed by our Nuclear Waste Office.
15 We expect our technical staff to meet the highest standards
16 of quality and objectivity.

17 Nye County has appreciated current and past
18 invitations to speak to you on our science, our concerns and
19 our ideas. Originally, and I think one of the big important
20 issues that the meeting here in Amargosa puts forth, is five
21 years ago I stood before the Board, and we talked about the
22 public perception of the credibility of DOE and its work and
23 how the public perceived the overall issue of what was
24 happening in the Nuclear Waste Program. To be able to now
25 say that you have come to our backyard, so the nepotism

1 that's out there, I'll hope that you'll now be able to
2 appreciate personally that Yucca Mountain isn't just a vast
3 thousands of acres of desolate desert, that people actually
4 do live here, we raise our children here, and we expect to
5 continue to do so in the safest manner appropriate.

6 Now, I ad libbed. You'll say that wasn't written
7 there, but I added that because I personally feel that way.
8 That's what I said seven years ago approximately, and I
9 firmly believe that today.

10 We are especially concerned that all the Yucca
11 Mountain site characteristics are fully considered in DOE's
12 upcoming viability assessment in its waste isolation
13 strategy. We all know that the geological features of Yucca
14 Mountain are not what were anticipated when it was originally
15 identified as a candidate site for the deep geological
16 disposal. We have been on record as far back as 1990 with
17 our concern that site deficiencies not be met by a national
18 drive to license a repository at all costs. We have spoken
19 of our fear that the institutional momentum will simply drive
20 the final suitability and licensing decisions.

21 In light of this potential, we have even suggested
22 that a ventilated repository is needed to overcome the
23 deficiencies we see in a very fractured site. Yet, we have
24 seen no evidence that DOE plans to evaluate this alternative
25 design as part of its viability assessment or its suitability

1 analysis. The Board must continue to weigh in on this
2 critical design issue.

3 Again, ladies and gentlemen, I just want to say
4 welcome to Nye County. Thank you for bringing this important
5 work and this important issue to the people who it's
6 potentially going to mostly affect, the ones that are going
7 to live with the decisions that you make for hundreds and
8 thousands of years.

9 We look forward to our staff being able to
10 participate in your deliberations that you have here the next
11 couple days, and I would ask that if you have something that
12 you need that's not supplied, grab one of our staff people,
13 and we'll certainly see if we can accommodate you.

14 I'm in the middle of--we have a Commission meeting
15 in Pahrump today, and so I'm going to have to return, but I
16 hope to maybe be able to get back and see you again before
17 you leave.

18 So thank you very much, and welcome again to
19 Amargosa Valley.

20 COHON: Thank you, Mr. Commissioner.

21 In calling on Lake Barrett, let me introduce him at
22 the same time, as you're making your way up there, Lake. If
23 you don't mind, I'll do it from where I'm sitting.

24 Mr. Barrett holds bachelors and masters degrees
25 from the University of Connecticut. He's been with DOE since

1 1985. At one point, it was at the Rocky Flats Program before
2 he joined this program. He served as deputy director since
3 1993, and was appointed acting director of the Office of
4 Civilian Radioactive Waste Management almost exactly one year
5 ago. Lake, I'm sure you noticed. He's had many years of
6 experience as well in the private sector. Welcome back, Mr.
7 Barrett.

8 BARRETT: Thank you very much, Mr. Chairman. No, I
9 don't keep track at all. I don't know, having so much fun,
10 you really can't.

11 I've been to many Board meetings and such meetings,
12 and I don't think I've ever been to any nuclear waste meeting
13 with a view as beautiful as we have out here in Amargosa
14 Valley. So I commend the Board for having this meeting here
15 for many reasons, and in the least of that is the view we
16 have here. It's a beautiful valley in the mountain.

17 Thank you for the opportunity to appear here today
18 to provide my perspective on the program. I regret I won't
19 be able to stay here tomorrow. I have to speak at a
20 California meeting tomorrow, but I will be able to stay here
21 tonight through the public meeting, so I'll try to assist in
22 any way I can during that.

23 When I spoke to you in October, I noted that 1998
24 was an important year for the program as we complete the
25 viability assessment of Yucca Mountain. Completing the

1 components of the viability assessment and the supporting
2 documentation is a massive effort. It requires the complete
3 attention and focus of our program participants. We are on
4 track and will deliver the viability assessment components to
5 the Secretary this September. Dr. Dyer, the project manager,
6 will update you on the specific progress we have made
7 following my talk, and I will use my time on the agenda to
8 discuss the broader policy settings and the significance of
9 the viability assessment to the continuation of the geologic
10 disposal program.

11 Before I address the geologic disposal program, I
12 would like to note some recent developments since our last
13 meeting in October.

14 On October 30, 1997, the House passed a bill that
15 calls for the development of an interim storage facility in
16 Nevada. The Senate passed a bill last April with similar
17 objectives, although several provisions are different. A
18 conference committee may meet sometime in the next coming few
19 months to resolve the differences between the bills. The
20 President has stated he would veto either bill if presented
21 to him in their current form. The outcome is certain,
22 especially since there does not appear to be much legislative
23 time on Congress' election year calendar.

24 On November 14, 1997, the District of Columbia
25 Circuit Court ruled that the delays clause in the standard

1 contract between the utilities and the Department of Energy
2 provides a potentially adequate remedy to contract holders
3 for the Department's failure to begin disposing of nuclear
4 waste a week from this Saturday; that's January 31, 1998.
5 The Court denied a request from the petitioners compelling
6 the Department to begin disposing the fuel this month, and
7 also authorization to escrow the fees. The Court did
8 preclude the Department from excusing its failure to accept
9 waste on the grounds that it has not yet established a
10 permanent repository or an interim storage facility.

11 On December 29, 1997, the Department filed for a
12 rehearing, asking the Court to consider certain aspects of
13 the ruling. In the meantime, the Department continues to
14 explore approaches to resolving this issue in a manner that
15 is fair and equitable to all parties.

16 In another court case, decided on January 13th, the
17 9th Circuit Court upheld the Department's decision not to
18 make Fiscal Year '96 payments to the State of Nevada for
19 oversight activities at Yucca Mountain. The Court found that
20 while absent other statutory direction, the Department must
21 provide oversight funds to Nevada. The State had sufficient
22 funds available at the beginning of the fiscal year 1996.

23 The President has emphasized the importance of
24 geologic disposal to both the long-term management of
25 commercial spent fuel, the cleanup of the nuclear weapons

1 complex, now that the cold war is over. And geologic
2 disposal also underpins our international non-proliferation
3 policy and supports our national security objectives.

4 Despite our recent accomplishments, the future of
5 the geologic disposal program is uncertain. There are those
6 who will clearly oppose geologic disposal, and I would expect
7 that they would use the viability assessment to try to stop
8 the program. Some will claim that the environmental impacts
9 and risk to the Yucca Mountain repository are too large or
10 too uncertain and that a new unknown course should be
11 attempted. Others will call for abandoning the expensive
12 repository and establishing a central interim storage
13 facility, and rely on major societal investment in a future
14 advanced technology of nuclear reprocessing and a new
15 generation of nuclear power generation facilities.

16 Both of these arguments seek to reconsider the
17 international consensus on geologic disposal and, in my
18 opinion, are a step backwards in the face of accumulating
19 inventories of spent fuel, acceleration of cleanup of the
20 nuclear weapons complex, and support of our international
21 non-proliferation and national defense objectives.

22 The viability assessment will help the Congress and
23 the President define the nation's path forward for a long-
24 term management of high-level radioactive waste and spent
25 nuclear fuel. The viability assessment components will

1 objectively describe the design, the performance and the cost
2 of a Yucca Mountain repository based on the information
3 collected to date. The assessment will also include a path
4 forward for completing site characterization and developing a
5 site recommendation and a license application if we determine
6 that continued investments in geologic disposal at Yucca
7 Mountain are prudent.

8 The debate regarding the viability assessment and
9 geologic disposal at Yucca Mountain is likely to be
10 contentious and polarized. The views of informed,
11 independent parties, such as this Board and the Nuclear
12 Regulatory Commission, will be very, very important. We want
13 the viability assessment to be considered in the proper
14 context. The information presented is not claimed to be
15 sufficient for site recommendation nor licensing.
16 Uncertainties will remain. Focusing on the details not yet
17 fully developed, however, may obscure the national issues and
18 the substantial progress that we have made. It could also
19 undermine the continuation of the program.

20 The costs and environmental impacts of a Yucca
21 Mountain repository should not be judged in the abstract.
22 These issues should be viewed within the context of the
23 potential alternatives, including the no-action alternative.
24 There are no perfect solutions. All of us, as members of
25 the international community, must provide an adequate, sound

1 high-level waste management program for our present and also
2 for future generations.

3 I would also like to discuss with you your most
4 recent report to Congress and the Secretary and the status of
5 our related testing activities. We appreciate your
6 recognition of the considerable progress we have made
7 investigating Yucca Mountain. We share your enthusiasm for
8 the well-integrated effort resulting in the timely completion
9 of the drift scale heater test facility. As I say, I
10 personally--we challenged the project to get that done ahead
11 of schedule, and they responded beautifully by getting that
12 done. And it was a tremendous task, and I do appreciate your
13 comments to the team because they really did extra to get
14 that done.

15 The construction of the starter tunnel for the
16 cross drift is well underway, and we expect to launch the
17 small tunnel boring machine in April, 1998. The excavation
18 is expected to be completed on schedule in September, 1998.
19 The testing phase will continue for several years after
20 excavation is completed; however, visual observations and
21 mapping will be completed as the excavation proceeds.

22 We understand the Board's desire to see the data
23 collected from the enhanced characterization of the
24 repository block initiative, which will be included in the
25 viability assessment. We will ensure that observational

1 information is considered to the extent practicable. Most of
2 the information will be considered for site recommendation
3 and included in the license application.

4 The significance of information contained in
5 subsequent testing and design activities, however, should not
6 devalue the viability assessment. The viability assessment
7 will help facilitate a general agreement between the program
8 and its regulators and overseer on the remaining work
9 necessary to evaluate the site and to complete a defensible
10 license application.

11 We are also constructing a new underground facility
12 at Busted Butte in the Calico Hills rock unit to provide an
13 analog similar to expected conditions within and below the
14 potential repository horizon. Tests will be conducted to
15 validate laboratory data and conceptual numerical transport
16 models. This testing is intended to reduce uncertainties in
17 our assessment of the potential transport of key
18 radionuclides from the repository area, through the
19 unsaturated zone, to the water table underlying Yucca
20 Mountain. The tests will also address the importance of
21 colloid-facilitated transport of radionuclides, especially
22 long-lived plutonium.

23 Underground construction began in mid-December, and
24 we expect it to be completed next month. The test bed
25 construction and instrumentation are expected to be completed

1 late this summer.

2 Concerning performance assessment, we recognize the
3 importance of the support from the scientific community at
4 large. To ensure that our conclusions are based on state-of-
5 the-art models and appropriate data, we are using an
6 independent peer review panel for total system performance
7 assessment. As you are aware, this panel presented its
8 second interim report at a public meeting earlier this month.
9 Its final report will follow the viability assessment and
10 influence how we proceed with the performance assessment for
11 a license application.

12 Your recent report emphasizes the importance of
13 both natural and engineered barriers to repository
14 performance. We agree, our analyses demonstrate that the
15 performance of the engineered and natural barriers cannot be
16 evaluated in isolation of one another. This philosophy
17 supports our development of a robust waste package design, as
18 well as enhanced engineered barriers, complemented by the
19 natural environment.

20 You recommend that we should develop viable
21 alternatives to the current reference repository and waste
22 package designs, and that these alternatives should evolve
23 over time as our understanding of the site and the
24 interaction between the natural and engineered systems
25 further evolve. We agree that the repository and waste

1 package designs should not be prematurely fixed and other
2 potential options and alternatives should not be foreclosed.

3 At the same time, however, a workable reference
4 design is essential for the viability assessment and the
5 rational completion of site characterization. The Chairman
6 of the Nuclear Regulatory Commission noted several years ago
7 that a lack of a coherent design concept had been a source of
8 discomfort for the Commission. We recognized this concern
9 and have developed a reference design concept for the
10 repository system. This concept and an assessment of its
11 performance provides the frame of reference required to
12 evaluate the sufficiency of the site characterization data
13 and analyses.

14 Your recent letter suggested alternatives beyond
15 design add-on options should be addressed as a cost-versus-
16 performance choice in the viability assessment. Addressing
17 design alternatives, different from the design add-on
18 options, will continue to be an important part of the overall
19 design process.

20 For the viability assessment, however, we believe
21 that the feasibility of geologic disposal at Yucca Mountain
22 is best addressed by focusing on a working reference design
23 concept. This ensures that the components of the viability
24 assessment rely on consistent information and the results are
25 not biased by the selection or omission of particular

1 alternatives.

2 We consider design to be work in progress. We will
3 further evaluate various design features and concepts
4 following the viability assessment. We expect that design
5 alternatives will continue to be evaluated throughout the
6 repository licensing, construction and operation. Our design
7 strategy recognizes the need for a workable reference design
8 to support the development and review of a license
9 application, as well as the reality that technological
10 advances can be expected over the decades of repository
11 development and operation.

12 We are preserving flexibility to ensure that the
13 design features identified now, as well as those that emerge
14 with advancements in technology, can be accommodated in the
15 repository development process. To efficiently manage the
16 program, however, minor modifications, as well as major
17 design changes in paradigm shifts, must be implemented
18 through a formal design control process. Not only is formal
19 design control a good management tool and required by our
20 quality assurance program, it is an absolute requirement
21 under the Nuclear Regulatory Commission regulations.

22 Your recent report also mentions efforts to enhance
23 communication between the program and the Board. Effective
24 communications are essential to ensure that the Board fully
25 understands the ongoing scientific work and, in particular,

1 the viability assessment components. Given the significance
2 and consequences of the Board's views, it is important to
3 ensure that you have all the appropriate information on which
4 to base your future messages.

5 The focus of our work in science and design this
6 year is directed at providing the necessary information for
7 an open and transparent viability assessment. To demonstrate
8 our commitment to openness, we will make the results of our
9 world-class science and engineering studies available on the
10 Internet soon after the release of the viability assessment.

11 One last point I would also like to mention, is
12 that in our effort to streamline operations, I regrettably
13 have had to make the decision that we will have a formal
14 reduction in force in the program, with letters going out
15 later this month. We will be reducing 22 positions in the
16 headquarters organization and no force reductions here in
17 Nevada.

18 Overall, we will have shifted the balance of
19 staffing from headquarters to Nevada. We will reduce the
20 headquarters' staff by 50 per cent and increase the Nevada
21 staff by over 40 per cent over the past five years.

22 In conclusion, it is clear that the geologic
23 disposal program faces a number of challenges this year. The
24 program is focused on completing the viability assessment, as
25 required by Congress and the President. The viability

1 assessment will be a snapshot of the project in mid-1998. It
2 is intended to help identify additional work needed to make a
3 site recommendation in 2001 and a license application is
4 2002.

5 This milestone is important to the nation's
6 geologic disposal program and will represent the culmination
7 of a significant effort by all the program participants. We
8 intend that this assessment will provide an unbiased,
9 technically sound, state-of-the-art analysis of a potential
10 repository at Yucca Mountain. We look forward to the Board's
11 review of this effort.

12 I'd be happy to attempt to answer any questions
13 that the Board may have at this time.

14 COHON: Thank you, Mr. Barrett.

15 Questions from the Board? John?

16 ARENDR: Excuse me. John Arendt.

17 What's the status of the recent issuance of RFP for
18 privatization transportation of spent fuel?

19 BARRETT: We issued in December of '97 the--it was
20 actually the very end of November--a revised draft, request
21 for proposal for transportation waste acceptance services.
22 This is our approach to use a market-driven approach as
23 opposed to a government-owned and contractor-operated
24 transportation system.

25 We issued that revised draft in December. We've

1 asked for comments, I believe, in February, and that is being
2 reviewed now. It is our plan to tune that up so that is in
3 the best available shape that can be in. And if the nation
4 decides either Yucca Mountain or otherwise to where the
5 receiving facility be placed, we would then kick the
6 transportation to a higher view. We would not go forward
7 with any actual request for proposals until that time.

8 ARENDT: So you'll kind of tune up the document and then
9 stand ready for whatever needs to be done in terms of
10 transportation?

11 BARRETT: That's correct. All our budget authority
12 basically is being used on the Yucca Mountain scientific
13 program.

14 ARENDT: Yeah.

15 COHON: Dan Bullen?

16 BULLEN: Bullen, Board.

17 A couple of quick questions, Mr. Barrett. First,
18 when you talk about alternatives to the reference design and
19 the importance of a formal design control process, I
20 understand that that's a very important procedural notion for
21 changing designs. And I guess the question that I would have
22 is, by what criteria do you do an evaluation to determine how
23 you change and make the alternative design change?

24 And as a follow-on to that, I wanted to ask about
25 sort of the time frame that you have with respect to making

1 those kinds of changes? You have a real tight window of
2 suitability assessment license application coming up quickly,
3 and it seems that it might be very difficult to make those
4 changes or paradigm shifts if you so choose.

5 Could you comment on those, please?

6 BARRETT: Well, the process--let me try that one first.
7 The process is a formal process where basically the
8 engineering folks are looking at changes in design from
9 simple modifications of an existing design to a complete
10 paradigm shift with a different approach. It will be handled
11 the same way where the engineering disciplines are
12 responsible to analyze those changes, write them down as to
13 what the impacts are, what their costs are, and if they
14 believe the change should be made, to submit it to the board
15 of the project. And there's a threshold, the project manager
16 makes certain decisions. As a threshold, I delegate it to
17 Russ, and then some of those come to the headquarters or the
18 directors, depending on what the threshold is. But it's the
19 same process. And if it's a little change or a big change,
20 the same formality exists.

21 The time period is, yes, there is a relatively
22 short period of time, but we have a good team that's going to
23 be looking at these. We're going to look at what--I believe
24 the Board refers to them as alternatives, which some of those
25 are major paradigm shifts in a way. We believe we have time

1 to look at that in the post VA period. We will probably
2 discuss those to the best of our ability in the viability
3 assessment in a qualitative, non-quantitative way.

4 One thing I do not want to do is do performance
5 cost analyses and not do them well. I would rather not do
6 them and do them--I'd rather not do them poorly. I'd rather
7 just defer them and do them later. And I believe we will
8 have time in the '99 and 2000 period to look at those.

9 BULLEN: Bullen, Board again.

10 So you're saying that that's in the plan, and
11 that's in the budget, and that won't be an undue burden to
12 take a look at the alternatives post VA?

13 BARRETT: It's the right thing to do, and we'll do it,
14 and we will fit it in the budget.

15 BULLEN: Okay.

16 BARRETT: Now, we may have future debates about how much
17 of this you do and that type of thing, but we will look at
18 these design alternatives, enhancements, whatever one wishes
19 to call them.

20 BULLEN: Okay. One quick change. Again, Bullen, Board.

21 You mentioned that the enhanced characterization
22 repository block is underway, and you're getting ready to
23 launch the--or to launch the tunnel boring machine with the
24 starter tunnel. Has a true DIE been completed? I know that
25 that's in the works and that it's underway. This question

1 was asked in June and probably again in October, and I'm just
2 reiterating that when might the DIE be done, and could we see
3 it?

4 BARRETT: Let me ask Russell if he might want to have
5 somebody who is closer to these actual day-by-day engineering
6 evaluations on that.

7 Let's get the answer to your question later and get
8 back to you.

9 BULLEN: That's fine. I just wanted to reiterate that
10 I'm still interested. How does that sound?

11 COHON: I don't think there's any doubt about that.

12 Debra Knopman?

13 KNOPMAN: Knopman, Board. Three quick questions, Lake.

14 I think in either June or October, I asked about
15 whether an executive summary would be part of VA. Has that
16 decision been revisited, and if so, where are you now on
17 that?

18 BARRETT: We've made some decisions on the format.
19 There will be an executive summary as part of the VA package.
20 I don't know, Steve, would you want to--or Russ?

21 DYER: I'll talk a little bit about that in my
22 presentation.

23 KNOPMAN: Okay.

24 BARRETT: Okay. Russ will go over that. We do have an
25 outline now of what the VA package will be, and Russ will be

1 talking about that.

2 KNOPMAN: Okay, second question. You mentioned as part
3 of VA, that there's some notion of sufficiency of work to be
4 done in preparation for LA, and I'm wondering if there's
5 specific criteria for sufficiency that will be part of VA
6 that you've laid out; that is, how much work is enough to get
7 to LA? I mean, that's clearly implied by the idea of laying
8 out a work plan, but I'm wondering if there is some
9 quantitative measures or criteria that have been specified.

10 BARRETT: To my knowledge, there is no quantitative
11 criteria of sufficiency. It's what is basically the judgment
12 of you have a sufficient information to make the site
13 suitability decisions and recommendations to the President
14 and then a defensible complete license application. So
15 that's a judgmental thing that there's no quantitative
16 criteria that I'm aware of.

17 KNOPMAN: Okay. And finally, just on this design
18 question. Since the EIS, we'll hear a little bit more about
19 that, is on a pretty tight schedule as well, and it has
20 embedded in it alternatives, to what extent will VA kind of
21 hone in on the alternatives that will be included in the EIS?
22 That is, will they jive with the things that you're
23 imagining you'll probably pick up after VA and what will have
24 to be in the EIS and be worked on now?

25 BARRETT: There's always a time lag, and what we're

1 going to do is try to keep that time lag as short as we
2 reasonably can and consistent with following the NEPA
3 processes and the design of it. When an engineer has good
4 ideas, and this Board is filled with good ideas, okay, to
5 actually going through the processes and then actually
6 implementing it, giving the engineer the changes made, then
7 crank it back through the NEPA process, there is a time lag.

8 I believe that when Wendy talks to you about the
9 EIS, there will be sufficiency in the design alternatives and
10 things she's planning on doing as best she knows them, and
11 she started this in the scoping process where this was
12 discussed. But she will never get a one-to-one time because
13 there are many design alternatives that we don't know about
14 yet and won't know until really post licensing and post
15 operation.

16 But the basic way I look at the design is you have
17 a good base reference, and basically design changes are going
18 to be better than this. We're going to be--perform better
19 maybe cost less, or they'll have a positive performance cost
20 ratio as you go through it, which you never can crank these
21 all through because you don't know what they're going to be.

22 But Wendy will talk to you some more about that to
23 the degree we'll be able to have all the good ideas in that
24 because you won't have them all.

25 COHON: Jeff Wong.

1 WONG: Jeff Wong, Board.

2 Lake, you're currently preparing a case for
3 continued investment in Yucca Mountain, and I'd be interested
4 in hearing your personal views as to what you think are some
5 of these strongest elements thus far that the DOE has to
6 support that approach or that case.

7 BARRETT: Well, I wouldn't say we have a view as to--
8 what we're going to try to do is look at Yucca Mountain as
9 the best available analysis of what a repository would
10 perform at Yucca Mountain and what it would cost. If that's
11 good enough or not good enough, I don't know. That will be
12 EPA standards and adjudicatory processes that we haven't been
13 through yet.

14 I see nothing at this point where we should abandon
15 the effort and stop doing it, okay? So we will evaluate the
16 best science can do to what a repository would be for a good
17 reference design. An optimized design, no, it's not, okay?
18 But a good basic design that you could do sketches of and
19 drawings and show to people like, you know, former Chairman
20 Cantlon, as here's a reference design, it's an adequate
21 design and good design.

22 But I don't really have criteria, a go, no-go
23 point, because that will be part of the process from the EPA
24 and others.

25 COHON: This is Cohon, Board.

1 Any good rumors about an EPA standard?

2 BARRETT: It's always this month, but not this week. So
3 I honestly don't know.

4 COHON: Priscilla Nelson.

5 NELSON: Nelson, Board. Hi, Lake.

6 I'm going to ask a question that I'm not sure I'm
7 going to be able to frame it all that clearly and succinctly,
8 but the question deals with the alternative concepts or at
9 least looking towards a future, which I know you believe the
10 finished repository, maybe--I don't want to put words in your
11 mouth, but I think I've heard you say that the repository
12 that finally gets built, should one be built, may not at all
13 be the one that's proposed at the time of VA. We expect this
14 to be a living document. We expect evolution in our
15 understanding and some responsiveness on the part of the
16 engineers as the repository construction may occur.

17 But the sense of the criteria used to look at some
18 of the concept, the alternatives, and not only the criteria,
19 but also the fact that different concepts require different
20 kinds of input data and different kinds of models, which may
21 not be captured now, or which, in fact, might represent in
22 the next couple years in order to evaluate, for example, some
23 of the alternatives thoroughly, you'd probably want to
24 capture some additional data that may not be part of the core
25 site characterization that's in the plan right now.

1 So not only the alternatives should be considered,
2 but maybe also planning for acquiring the data, the
3 information that would permit that to be evaluated has to
4 happen very early as well in '98-'99 in order to permit that
5 consideration to happen.

6 So it's not just a tradeoff alternative
7 consideration. It's also planning to acquire the data to
8 permit that in terms of the impact on site characterization.

9 So that's the question. Is there framework? How
10 do you see that happening in terms of if you choose to think
11 about an alternative, there may, indeed, be additional data
12 or different data that you would want to acquire in order to
13 evaluate that alternative.

14 BARRETT: It's a very, very good point. I think it's
15 true. What we did is started the evolution. We started off
16 this program, you know, 15 years ago, basically, looking at
17 the national setting in a broad sense, with the 6,000-day
18 site characterization plan, many experiments, doing many
19 different things. We've grown to understand the mountain.
20 Then we started to focus now on different concepts, and we
21 now are focusing on a reference design for the viability
22 assessment and what the performance of that design would be.

23 We are focusing the national science program on
24 that design and on alternatives, other things that we know,
25 because most of these, as the Board's pointed out, their

1 performance will be giving very much to water. It will give
2 very much to stability, give very much to thermal mechanical
3 coupled processes.

4 We have what I consider a very robust scientific
5 program in that area with that information that could be used
6 on many different types of design alternatives. I don't know
7 of any information that we could not get in a reasonable time
8 frame to support other alternatives based on the basic broad
9 program that we had before. If something does come to mind,
10 what we would do is adjust our scientific program to gather
11 some of that information.

12 Now, one thing I don't want to get caught into is
13 better is the enemy, we'll pick them up and we get there
14 because you'll be doing iterative asymptotic analyses, and
15 you would never reach any conclusions. That's the thing that
16 I'm sensitive to, that we don't get into analysis paralysis
17 and you never reach any decisions, be it by building
18 assessment, be it site recommendation, be it a license
19 application. I believe it can go on in parallel as we go
20 through it.

21 NELSON: Okay. Nelson, Board.

22 But in the laying out of the site characterization
23 plan to be continued between '98 and 2001, there's actually
24 explicit consideration of what alternatives are going to be
25 progressed with and what data is needed, what experiments

1 might be needed, what observations might be needed in order
2 to feed into those alternatives. I don't think I've seen a
3 layout like that, and if there were that kind of a mapping of
4 the data input and what you'd need to consider different
5 alternatives, that would be interesting, I think, for us to
6 have.

7 BARRETT: What I believe we are going to do is we will
8 have the fairly detailed map from the viability assessment
9 point at the end of this year to the license application on
10 what we will be doing for the reference design. As we look
11 at other design alternatives, if we determine that
12 substantial changes needed to be made in the scientific
13 program, we'll do that through budget change.

14 What we're trying to do with the cost and what I
15 believe the intent of Congress was when they passed the
16 viability assessment, put in '97 appropriations language, was
17 to get a handle on about how much of an investment would
18 there be between the viability assessment and the license
19 application.

20 And the understanding at the time with our projects
21 was that was around a billion dollars. When we finish the
22 viability assessment, we will have spent about three billion
23 dollars on the Yucca Mountain work, and that would be another
24 billion dollars to tune that up to get to the license
25 application stand.

1 We want to lay that out in some detail for the
2 Nuclear Regulatory Commission, for the Board and others to
3 see. If you see that something is missing that is
4 significant--now, what I mean by significant is we be
5 significant in budget space--that's the time you should have
6 some discussion. Small things, small experiments, those can
7 be handled within the budget space.

8 NELSON: Nelson, Board.

9 I'm sensitive to some of the budget issues, but
10 also time issues. Time becomes a budget issue as well. I
11 mean, some of these require leave time in order to address,
12 but if that kind of a layout is developed, that would be
13 interesting for the Board to see.

14 COHON: Richard Parizek?

15 PARIZEK: Yeah, Parizek, Board.

16 I want to know a little bit more about the Busted
17 Butte analog study you mentioned, unless someone else is
18 going to present this to us a little later in the program
19 because you're looking at unsaturated zone issues. Will it
20 conclude faults and water transfer along the faults, the
21 whole question about the colloidal experiments, and do we
22 have a study plan that we could look at? I don't know if the
23 Board has received this or not, but I've not seen one. I
24 would be very interested in the details of this because some
25 of this has to come out of, I would think, the expert

1 elicitation panel on saturated zone issues. There were 22
2 issues raised back a year ago last summer, and the question
3 is how many of these issues might be dealt with in a Busted
4 Butte analog study.

5 BARRETT: Russ, do you want to--

6 DYER: Dr. Parizek, I'm going to talk about that a
7 little bit in my talk. Maybe it would be best if we cover it
8 at that time.

9 PARIZEK: Thank you.

10 COHON: That's fine. Jeff Wong, another question?

11 WONG: Jeff Wong, Board.

12 Lake, can I ask my question again? You obviously--
13 the DOE wants to make the case for continued investment,
14 continued characterization of the mountain.

15 BARRETT: Not necessarily. I mean, if we find that
16 Yucca Mountain has, you know, huge doses found right here,
17 okay, or we find that it is many, many millions of dollars
18 beyond what we envision it is, we'll blow the whistle on it
19 and stop it. But I do not have a preconceived--we are going
20 to justify going for Yucca Mountain no matter what. I'm
21 going to wait and see what we have. I see no reason today
22 that I think it's going to come out that way, but I do not
23 have a preconceived conclusion that Yucca Mountain is going
24 forward without seeing the output of the viability
25 assessment. It's not a given that we're going to do a

1 repository at Yucca Mountain no matter what.

2 WONG: Well, again, then on supporting or not supporting
3 a positive finding of viability, what are the elements that
4 you think right now are the strongest elements for or against
5 viability?

6 BARRETT: There are the environmental impacts out for
7 the many millennia; what are those impacts, and what are the
8 --can we design a repository and build a repository with
9 basically no technology, okay, and what are the costs of that
10 repository?

11 If the repository costs are say \$100 billion to
12 meet a reasonable performance, I don't think I would
13 recommend going forward to the Secretary. If we have mega
14 doses down here, okay, in short time periods of a short
15 millennium, I don't think we would recommend going forward.
16 If it's in the range of risks that are accepted by modern
17 society within reasonable costs, we would probably propose to
18 go forward, but I'm not going to prejudge what those outcomes
19 are.

20 Based on the preliminary work I've seen, I don't
21 expect any surprises, but, you know, it's not done yet. But
22 we are excluding not in the situation where we know the
23 answer is continued. Do our budget plans and our program
24 plans--we are in the midst of proposing a revised program
25 plan--show going forward to the next steps? Yes, it does,

1 for planning purposes, but we have to look and see what it is
2 going to be. And the standard setting is a process that we
3 don't control. We do not know what those standards would be
4 yet, and we're going to have to look and make judgments. Can
5 science and technology meet those standards as to the degree
6 of uncertainty that the Nuclear Regulatory Commission will
7 require? We'll have to wait and see what that is.

8 COHON: Cohon, Board.

9 The history of the viability assessment was, when
10 we first heard about it, we wondered mightily what it meant,
11 and then we came to realize what we thought it was. And then
12 we were eager to be sure there would be no confusion between
13 viability and suitability, and that all seems to be behind us
14 now, which is good. And this Board has endorsed viability
15 assessment as the management tool that DOE has characterized
16 it to be.

17 Still, I think there's the remaining delicacy for
18 DOE in making sure that people understand what the VA is and
19 is not. And I, and this is purely a personal view, I'm not
20 speaking on behalf of the Board, continue to worry that if
21 that explanation is attempted at the time that the VA is
22 released, it may be too difficult because you've got this big
23 document that you're faced with suddenly, and people may not
24 listen so carefully about what it isn't and what it is.

25 Is DOE pursuing any strategy so that the key

1 recipients, the key audiences for this report will be
2 prepared to understand what it is and is not?

3 BARRETT: The only things we are doing with the key
4 parties, and this Board is clearly a key party, the Nuclear
5 Regulatory Commission, the State, the County, is to--and the
6 scientific community is, is that we will have our science and
7 engineering documented in as open a manner that we can so we
8 can show people the sciences, the peer review process, the
9 expert elicitations, et cetera. And then--so we'll have that
10 be opened. So hopefully there are no big surprises of some
11 science emerging issue, but there will be issues. I think
12 the colloids is an issue that will come and will go, and
13 others will come and go, also.

14 And then discuss with the Commission the formal
15 settings and informal settings--with the Commission and with
16 the Board, what we're doing here today. That's all we've
17 done.

18 COHON: But what about members of Congress, key
19 committees on the Hill?

20 BARRETT: Went through the Congressional testimony and
21 then, you know, briefings that we do to the Congress. We go
22 over what the viability assessment is and is not, standard
23 charts that you've seen. It is not a federal decision, et
24 cetera, because of the NEPA, et cetera. So it is a budget--
25 it will shape the budget, as I think we discussed at the last

1 meeting. The President will reform his FY-2000 budget at
2 that period. So we have gone through that with many of the
3 key leaders.

4 I expect that there will be many parties who will
5 try to make the viability assessment into what it is not one
6 way or the other.

7 COHON: Indeed. Other questions for Mr. Barrett? Any
8 staff questions?

9 May I suggest that questions to the audience, I
10 think we can safely save those until the public comment
11 period. Mr. Barrett will still be here. If you have a time
12 issue and you can't stay for the afternoon, then by all
13 means, please come forward. But otherwise, if you could hold
14 your question, it would be appreciated. Is that okay? Thank
15 you.

16 Thank you very much, Mr. Barrett.

17 BARRETT: Thank you.

18 COHON: Russ Dyer is our next speaker. He's acting
19 project manager of the Yucca Mountain project based in Las
20 Vegas. He holds a bachelor's degree from Rice and a Ph.D.
21 from Stanford. He was on the faculty in geology at the
22 University of Texas at El Paso before joining DOE. Before
23 being named acting project manager, his current position, he
24 was the deputy manager of the Yucca Mountain Project.

25 Welcome, Dr. Dyer.

1 DYER: Thank you, Dr. Cohon.

2 Can you hear me in the back? Are we on? Okay.

3 You probably have a very thick package of material.

4 It might put you at ease, I'm not going to try to go through
5 every word in that whole presentation. What I want to do is
6 to hit on some of the pertinent points in there. You'll
7 notice that the pages are numbered. I may not hit every
8 page. For the Board, if you have specific questions, I would
9 urge you to jump in, as you were moved, and we'll address
10 things as we go through.

11 What I want to do is look at from a fairly high
12 level what's going on in the project now, what we're
13 concentrating on, what are some of the issues we're looking
14 at, give you some status, some update of some of the things
15 that are going on, and just to set the stage.

16 We've talked about the viability assessment, the
17 four components of the viability assessment, and some of the
18 things that are actually going on in the technical arena, but
19 you haven't heard anything about the management system and
20 processes that we've put in place to manage the viability
21 assessment, how decisions are made and documented associated
22 with the viability assessment. I want to talk to you a
23 little bit about that.

24 I want to talk to you about the components of the
25 viability assessment, how we're doing, what the status is of

1 the various things that are going on related to the viability
2 assessment; then talk about some of the activities going on
3 in design and scientific testing and core science activities,
4 and then kind of review the near-term key events that we have
5 coming up over the next nine months--nine to ten months here.

6 There's a lot of issues associated with the
7 management of the viability assessment, how does one document
8 all of the multitude of decisions that are going to be
9 wrapped up into it? What's the process? What kinds of--who
10 has authority to do what, is the heart of some of the
11 questions that we were dealing with a little bit earlier.
12 How does one determine where the cutoff between one decision
13 maker to another decision maker to a board is, and I want to
14 talk about that. I want to talk about the structure that
15 we've put in place. We'll take you from the top down to
16 essentially the day-to-day working level.

17 You're very familiar, of course, with the basis
18 behind the viability assessment. One thing I would mention,
19 and we'll talk about it perhaps a little more, is the mapping
20 between some of the things in the viability assessment and
21 other documents into the Nuclear Regulatory Commission's key
22 technical issues.

23 I think Dr. Nelson had a question about the
24 structure of the viability assessment. This is our current
25 concept. It's one product of viability assessment. It has

1 what we'll call five volumes. Now, whether those are five
2 separate volumes or whether we are able to get them into one
3 enormous three-ring binder that's about that tall, I don't
4 know. But the current concept is five volumes, the first
5 volume of which would be your overview and summary. This is
6 what ties everything together, gives you the executive
7 summary, and then there are the other four volumes that are
8 the four products of viability assessment. And then below
9 the VA product itself are the lower tier documents, the
10 supporting documents and information, the data, the analyses
11 that are rolled up into the viability assessment.

12 And as Lake was saying earlier, our commitment is
13 to put all of this into readily accessible form, the Internet
14 access, soon after acceptance of the viability assessment is
15 possible.

16 This is the current schedule for the completion of
17 the components of the viability assessment. There's an
18 enormous amount of activity going on. This concentrates on
19 the end game, the July, August, September activities that
20 lead to our acceptance at the project, at OCRWM and to the
21 Secretary of the four component parts; the design, the total
22 system performance assessment, the LA plan and the cost
23 estimate.

24 The management of the viability assessment is the
25 project business. This is a project product, and Mr.

1 Barrett's assigned the responsibility to the project. And
2 authority and responsibility has been delegated down to
3 appropriate individuals within the project.

4 Policy decisions are made at appropriate levels,
5 with the highest level of policy decisions being elevated to
6 the acting director. And we have put in place a series of
7 management groups under formal charter with responsibilities
8 authority delineated in the charter that assign different
9 groups, different responsibilities, different decision
10 responsibility. And what I'd like to do is talk about
11 several of those groups.

12 At the top level, we have the Program Review Group,
13 which is a high-level primarily policy board, and then the
14 Viability Assessment Integration Group is a lower level
15 decision body which can work on decisions up to a certain
16 level. If there are decisions that exceed their threshold,
17 they can take a recommendation forward to the top level
18 group.

19 And then below that, there are the individual
20 product teams that are working on the products themselves.
21 And we'll talk a little bit about external communication.
22 This goes to a question that somebody had just recently, just
23 a little while ago, about communications with external
24 bodies.

25 Dr. Cohon?

1 COHON: Sorry, Russ. Sorry to interrupt. This is
2 Cohon, Board.

3 Just on this slide. Do the products, as in product
4 teams, correspond to the volumes in the five-volume chart?

5 DYER: I'm sorry?

6 COHON: Do the products correspond to those volumes?

7 DYER: That's right.

8 COHON: Okay.

9 DYER: The four products that make up the viability
10 assessment.

11 COHON: Thank you.

12 DYER: These are the two top level management groups,
13 the Program Review Group chaired by Lake Barrett, the acting
14 director of OCRWM. Members are myself, Dwight Shelor, Steve
15 Brocoum and Bob Strickler, Chuck Metzger, and secretary is
16 Linda Desell, who is our project person at headquarters.

17 The VA Integration Group, which is a group that--
18 this group meets when there is an issue to be addressed. VA
19 Integration Group meets on a much more regular basis, once--
20 well, several times a week generally, chaired by Steve
21 Brocoum, who I have delegated the authority and
22 responsibility of chairing this group to. Members include
23 both DOE staff, Rick Craun, Tim Sullivan, and contractor
24 personnel, Dale Foust, Glen Vawter, Mike Voegele, Mike Lugo,
25 Mike Cline. The secretary is Dan Royer, a Fed.

1 And the minutes of these meetings are kept. There
2 is an agenda that is worked up. Issues are brought forward
3 from lower level groups that need some decision made at a
4 higher level. That decision can either be made and
5 documented at a lower level, or if it involves policy
6 determination, it is bumped on up.

7 The model for this goes back to the days of the
8 site characterization plan. When there were many different
9 issues being discussed, many different ideas being thrown
10 out, we had to come up with essentially a position or a
11 policy. And the working groups that we had established at
12 that time provided us the mechanism and the formalism for
13 making a decision, documenting the decision and moving on.

14 The management groups that support the VAIG, the
15 Viability Assessment Integration Group, are--there are
16 essentially two product teams, a product team on the DOE
17 side, a product team on the M & O side. Each of these teams
18 is charged with either managing or producing one of the four
19 primary products that make up the viability assessment. And,
20 of course, on the DOE side, our team leader for the viability
21 assessment is Tim Sullivan, and on the M & O side, Jerry King
22 is the overall manager of the viability assessment.

23 Now, for communication, we want to have a robust
24 communications program. We don't want the viability
25 assessment or the products that make up the viability

1 assessment to be a surprise to anybody whenever they come
2 out.

3 So we have a series of various communications
4 opportunities, of tools that we're looking at presenting over
5 the course of the development of the viability assessment,
6 and the overall coordination of those communications efforts
7 are done by this group in the middle, which involves people,
8 as you'll see, from both the product team, as well as from
9 some of our outreach programs.

10 Okay. Let's talk about--I'm going to shift gears
11 now and go into the viability assessment itself and talk
12 about the four things that make up the viability assessment,
13 how we're doing in design performance assessment of the
14 license application and the cost estimate.

15 Lake addressed many of these questions earlier
16 about the design. It's a performance-driven design. It is
17 evolving now. The priority that we're putting into the
18 design for '98 for the viability assessment are those which
19 have no regulatory--and here are five general categories of
20 design elements that are receiving attention at the viability
21 assessment stage of design.

22 You are aware that we have an external board, the
23 MGDS Consulting Board, which has been providing--which
24 started out as an ESF Consulting Board. They have moved
25 over. Now we've continued them on, changed their charter

1 somewhat, and now they're providing input or advice to our
2 design group. There are two different sub panels of the
3 consulting board, a Waste Package and Subsurface Facility
4 Sub-Board and a Subsurface Repository Sub-Board. They have
5 been providing ongoing input to our design group and tech
6 management.

7 Some of the most recent input that we've received
8 from them--their last meeting was in December. Some of the
9 comments that are relevant to VA move quickly to finalize
10 design criteria, performance goals and assumptions for
11 viability assessment. This is a comment coming from the
12 Consulting Board. One comment they had was, it looked like
13 in our operational concept, one of the options we were
14 considering was to go piecemeal in making the repository.
15 They urged us to put in place essentially the service
16 openings for ventilation in any underground services,
17 ventilation, perimeter drift, access ramps, et cetera, prior
18 to starting the development of the emplacement drifts, a
19 suggestion that comes from the Board.

20 This is a status report of the components of the VA
21 design. We are here right now. The design product due in
22 June of '98; this is the acceptance for August of '98. These
23 are the activities still going on. There are five major
24 activities that are left; documentation of the design to the
25 TSPA group.

1 There is ongoing design issue resolution being done
2 either in the integration group or the higher level group,
3 which will go on through the May time frame. We'll go
4 through a concept of operations update. Criticality Topical
5 Report is something we have on our plate for August, and
6 continue with other aspects of design up to the June, '98
7 delivery date.

8 The TSPA, an enormous task this year, and if we
9 parse out the things that are most important to getting a
10 credible TSPA/VA in place, this is where we're putting our
11 priorities. We're putting the computer models under an
12 appropriate QA program, documenting the programs, putting
13 them under controlled input and output traceability; yes,
14 moving toward this QA pedigree. This is where we are getting
15 a lot of comments from the Peer Review Panel and from the
16 experience that was gained on the WIPP Program. It is all
17 telling us that this is a very, very important thing for us
18 to concentrate on as soon as we can.

19 The TSPA Peer Review, we had our second report. It
20 was delivered in early December. A mixed report card; some
21 things are going well, some things need a lot of focus, a lot
22 of attention.

23 Let me concentrate on some of the hit-home to me,
24 perhaps the best one. They like the process for expert
25 elicitations, but they caution us that this is not data. It

1 is not a substitute for data. If data can be acquired, it
2 should be.

3 There is a need to better understand where the
4 uncertainties are, how we can best reduce the uncertainties,
5 both in the models and in the data and put--it may be that
6 there are some tests that need to be run between now and
7 license application time, tests that are not currently in our
8 program. We're going to have to evaluate those suggestions
9 and see whether we need to modify our testing program to
10 accommodate some of these questions about uncertainty.

11 Let me skip a page and go to this one because it's
12 going to come back to something I talk about later.

13 More data on water chemistry are required to refine
14 and validate existing models. This goes to the heart of
15 something, an ongoing activity at Yucca Mountain now, which
16 is to go back and re-sample some of the geochemical
17 parameters in existing levels. It turns out the sampling and
18 instrumentation techniques have improved dramatically in the
19 decade or so since we originally acquired that information.
20 So it's worth our while to go back and recollect EH, pH
21 information about the in situ groundwater geochemistry.

22 This is where so much activity is going on because
23 this is where all of the natural processes, the natural
24 models, come together in the TSPA. And if you look at the
25 viability assessment, all of the natural systems, the

1 attributes, characteristics and processes of the natural
2 systems are all collapsed into the TSPA. There will be a
3 section in design that talks about that, too, but all of
4 these chapters, these models, the UZ transport, UZ flow,
5 thermal hydrologic processes, all are rolled up into the
6 TSPA.

7 And this is the current schedule for all of the
8 TSPA coming up, with the final TSPA/VA document in the
9 August, '98 time frame.

10 The license application plan, this would provide a
11 link between what we know at VA and what we need to have at
12 the time that we go into a license application. Where are
13 the uncertainties that need to be addressed or reduced, how
14 can we best go about this, what is the plan, what are our
15 data needs, if you will, what is the plan for addressing
16 those data needs, as a function of time and probably as a
17 function of resources, also.

18 The cost estimate, we'll address these five phases
19 of the life cycle of a repository system: Development and
20 evaluation, construction engineering, the emplacement and
21 caretaker operations, and eventually closure and
22 decommissioning.

23 We've got arrangements in place for independent
24 reviews of the cost estimates by Foster Wheeler, and this
25 review is going to be completed in the July, '98 time frame.

1 That's the current status of the viability
2 assessment. Those are the components of the viability
3 assessment. Those are the things that will make up this
4 product that comes up in the August time frame. As you can
5 see, there is an enormous amount of activity going on in each
6 of those areas.

7 What I'd like to do now is move on to activities
8 that are going on in design and scientific testing, and let
9 me provide a context or a framework for this. I think on the
10 back tables, I believe each of the Board members received a
11 copy of the repository safety strategy. This is a new life
12 given to yet--it's another iteration of what was known in the
13 past as the waste isolation strategy, the waste containment
14 and isolation strategy. It's our iterative version of the
15 safety case, and it's couched as a series of hypotheses.
16 What does it take to make a convincing case for the safety of
17 a repository system at Yucca Mountain?

18 Right now--this has evolved over time. If you will
19 remember back about a year and a half, there were five
20 elements that made up the safety case. There are now four
21 elements that make up the safety case, and those hypotheses
22 are limited water contacting waste packages, design
23 containment. We design containment in long waste package
24 lifetime. You have a slow rate of radionuclide release, and
25 there is a concentration reduction of radionuclides during

1 transport; those being the four testful hypotheses that make
2 up the repository safety strategy.

3 Now, if you go to the next slide, those are the
4 four top level hypotheses, and below that there are what I
5 guess I would call some sub-hypotheses, lower-tier
6 hypotheses, each of which is testful. Every one of the tests
7 that we're running at Yucca Mountain now is traceable in some
8 way to one of these hypotheses. And that four--I know the
9 Board staff, but over the years we have spent quite a bit of
10 effort trying to prioritize the testing program at Yucca
11 Mountain. What are the tests that give the most bang for the
12 buck? What are the tests that go furthest toward reducing
13 uncertainty? What, if any, tests are definitive? What kind
14 of test allows you to make a determination, yes or no, on
15 something?

16 These are the hypotheses. These provide the
17 framework for the tests that we have. And for each of the
18 four major hypotheses that I listed, these are the sub-
19 hypotheses. They're treated in considerable detail in the
20 report.

21 And the next slide shows you some of the ongoing or
22 plan tests that explicitly address each of these sub-
23 hypotheses.

24 Questions on the repository safety strategy?

25 And again, this is a--like performance assessment,

1 this is an iterative process. There will be another version
2 of this. We will go on.

3 Let me talk a little bit about some of the data
4 collection activities right now. Drilling and sampling; we
5 have probably the most active drilling program we've had at
6 Yucca Mountain in about three years. I was out there last
7 week, and there are seven drill maps that I counted out there
8 last week, and I'll tell you about some of what's going on.
9 Some of it's workover, but we actually have two deep wells
10 drilling right now.

11 The Busted Butte is going on. We'll talk a little
12 bit about that, and I'll talk a little bit about some peer
13 review activities on Chlorine-36.

14 We are drilling--let's see, let me go to this, and
15 then I'll go to a map and show you where these things are.

16 WT-24 is a deep drill hole north of the potential
17 repository block to test the large hydraulic gradient; that
18 is, to test whether or not we have a perched water body or
19 whether it's a contiguous water body in that area. It's
20 located between, I believe it's G-2 and UZ-14. WT-17 and
21 WT-3, these are two holes that we are re-sampling to look at
22 geochemical characteristics of the groundwater at Yucca
23 Mountain.

24 SD-6 is a deep bore hole being drilled with the LM-
25 300 on the crest of Yucca Mountain at the southern half of

1 the potential repository block. This is the first bore hole
2 that we have drilled in the potential repository block since
3 site characterization started. It's part of the ECRB, the
4 enhanced characterization of the repository block package, to
5 provide us that third dimension of information that will
6 compliment the horizontal information from the cross strip.

7 The C-Well Complex; we're entering a new phase of
8 testing on the C-Well Complex. I know they're trading out
9 some of the packers in there to look at a new interval.

10 We've got active testing going on at Alcove 3 and 4 to
11 look at the top and bottom contacts of the Paintbrush Tuff
12 and non-welded Paintbrush Tuff PTN. And in Alcove 6, we're
13 looking at the permeability--I guess I can call it bulk
14 permeability around the Ghost Dance Fault.

15 And the niche studies, of course, are giving us
16 information about the movement, flow and transport of
17 material through the fractured Topopah Spring.

18 This is a map, and I hope you can see it in the
19 back. This is the outline of the ESF, the north portal here
20 and the south portal here. Here is the current conceptual
21 layout or footprint of the potential repository.

22 WT-24 is located here, north of the potential
23 repository block. SD-6 is located here. The C-Well is here.
24 There are several wells that we're doing workovers in for
25 groundwater testing.

1 Busted Butte is located down here. I think it's
2 about five miles southeast of the potential repository block,
3 and I'll talk a little bit about that. The excavation we
4 have going on at Busted Butte is on the southeast corner of
5 Busted Butte, right down here.

6 WT-24, this has been an issue for a long period of
7 time. What is the reason for the steep hydraulic gradient
8 observed to the north of Yucca Mountain? WT-24 was put in
9 specifically to test that gradient. We don't have answers
10 yet. We drilled through and sampled through an upper water
11 body we're drilling now down to the lower water body. We did
12 run and complete a series of hydraulic pump tests from the
13 upper water body, and that was completed in January. Maybe
14 somebody from GS can comment, but I don't think the isotopic
15 information or geochemical information is back from the
16 samples that we took yet.

17 I think it's fair to say that it's a very low
18 permeability zone. It may be perched water, but I don't
19 think that there is a consensus yet that it is, in fact, a
20 perched water body. And we are currently deepening the hole.

21 That's the drill rig setting up Yucca Mountain back
22 to the right on this picture.

23 WT-17, WT-3 again; water level measurements, water
24 chemistry sampling, cleaning out the wells, getting the new
25 instrumentation in place.

1 SD-6; this is the deep hole on the crest that will
2 provide us stratigraphic information on the west side of the
3 potential repository block. We have very little in the way
4 of control on our 3-d stratigraphic model over on the west
5 side. This will give us information. Things were going well
6 except when you go fishing, and as of Friday, we were still
7 fishing. I don't know if we freed it up yet.

8 C-Well Complex; this is a multi-well tracer test
9 that we have run a series of tests at different intervals,
10 and what we're doing is going to a--we finished the testing
11 at the Bullfrog interval. We'll be moving up to the Prow
12 Pass and be starting the Prow Pass testing. Again, this is a
13 multi-hole pump and injection test. We'll be starting that
14 in February or March.

15 Alcove 3 and 4 I talked about a little bit.

16 Alcove 6; this is looking at the Ghost Dance Fault
17 as a potential fast path. Doing the pneumatic 3-d
18 permeability testing there is the primary testing that's
19 going on, and the last time I was in there last week, we're
20 still putting in some bore holes to allow us to do the
21 straight fracture-matrix interactions study.

22 The niche studies, I think the Board saw activities
23 in the niche last week. Let me talk about the transport test
24 at Busted Butte.

25 Dr. Parizek, you asked about a study plan.

1 Somebody, maybe Dennis, can help me here. This used to be
2 covered under a Los Alamos study plan. I remember it was
3 worked on by Everett Springer and Bo Bodvarsson about five or
4 six years ago. Can you help me here, Dennis?

5 WILLIAMS: Dennis Williams, DOE. I'm sorry, let's get
6 this right here.

7 The formality of study plans we basically
8 decontrolled somewhat over the last year or so, but this
9 study plan has been around for a long time under a long
10 title, Demonstration of the Applicability of Laboratory
11 Measurements. So it's been with us for quite awhile.

12 The PI on that right now is Gilles Bussod out of
13 Los Alamos, and it is a five-year plan, I believe, right now
14 at the Busted Butte Complex to look at the transport through
15 unsaturated zone, dominantly in the Calico Hills formation.

16 Someone mentioned whether or not it would have any
17 faults in that. Probably small faults, not the very large
18 fault that goes across Busted Butte, but fractures in the
19 Calico Hills type of materials, small faults in the Calico,
20 as well as matrix properties in the Calico.

21 DYER: Right. As of Friday, we were in about 48 meters.
22 The intent is only to go about 60 meters. We're not driving
23 toward the big fault that runs through Busted Butte. So
24 primarily just looking at transport processes in the Calico
25 Hills. This is a target of opportunity, of course, because

1 the Calico is at the surface. They're exposed at the
2 surface. So we could access it with a relatively cheap,
3 relatively cheap, relatively cheap, relatively quick drift
4 there.

5 And the main things, of course, that we're looking
6 at is to validate some of the lab data on radionuclide
7 migration. It also allows us to test and validate the flow
8 and transport models for the unsaturated zone. And there's
9 some key properties associated with some of these
10 radionuclides that have considerable uncertainty associated
11 with them that we're going to be able to address in situ
12 there. I'm sorry, we're not going to run those
13 radionuclides, but we should be able to address the
14 uncertainty associated with some of those properties.

15 We started this in December. We actually delayed
16 the test a little bit, delayed the initiation, the
17 construction based on a reconsideration of where we should
18 locate the facility, and we think we got a better place from
19 a technical aspect, and it will work out--overall, we'll save
20 a little time in the overall construction.

21 As I said, we're about 48 meters in a drill and
22 blast construction. We contacted the--contact between the
23 Calico Hill and the Topopah about a week ago.

24 And this is just not a very good--I don't have any
25 pictures from the inside yet. It looks sort of like a dark

1 hole, as most of these things do. But here's what the
2 outside looks like right now, with shotcrete around the
3 highwall, and we put it in in the Calico Hills.

4 Lake Barrett talked a little bit about the
5 activities that we had planned for the ECRB, enhanced
6 characterization of the repository drift. I'm trying to
7 encourage some new language here. Cross drift is what I have
8 been encouraging my people to talk, to refer to this feature
9 as. It's not quite east-west. It is a drift. But it's a
10 cross drift across the block. So if you hear cross drift,
11 this is what we're talking about, is this feature, which is
12 one component of the ECRB package.

13 We are in the process of making the starter tunnel,
14 drill and blast operation underground right now. Everything
15 on track for us to start--turn on the smaller TBM in April.
16 Looking, again, at completion in the September time frame, I
17 believe.

18 And we're gearing up, of course, to put in an
19 alcove underneath the cross drift and support this test--or
20 this excavation with the compliment of test that will follow
21 it.

22 There will be a series of predictive reports
23 associated with the cross drift. The Geomechanical or
24 Geotechnical Predictive Report is due out in the March time
25 frame. That is before we actually start excavation. There

1 are four other predictive reports: Hydrologic properties and
2 conditions, microbiologic populations, fast-path related
3 mineralization and isotope geochemistry, that are due out a
4 little later. I believe most of those are due in the June
5 time frame, which is before we should actually encounter most
6 of these features.

7 A little information about the Geotechnical
8 Predictive Report, what will be in it again. We're looking
9 at the March time frame for the availability of that report.

10 We have a peer review ongoing right now, looking at
11 Chlorine-36. Of course, that's been a topic of considerable
12 concern over the past year, year and a half. The objective
13 of this peer review is to provide us an independent
14 evaluation of Chlorine-36 and the conceptual models
15 associated with Chlorine-36 and that derive--the influence
16 that the Chlorine-36 has on our models of unsaturated zone
17 flow and percolation flux.

18 So some of the things that are being looked at are
19 sampling techniques, the analytical techniques, data
20 interpretations, accuracy, uncertainty and how this flows
21 into some of our key site models.

22 The status of the work: The panel members met in
23 January, had a tour of the site, and that's where we stand
24 right now. We have not received a first report back from the
25 peer review.

1 Finally, let me look at, well, my penultimate slide
2 here. These are the major milestones that we have coming up
3 in the next few months. You'll notice that there are a lot
4 of things in the January, '98 time frame, and then I showed
5 you in the July, August, September time frame, there are a
6 lot, an enormous amount of viability assessment associated
7 things.

8 These are some of the things that come up through
9 the remainder of this month, and then between now and May
10 is when we have worked through 20 of the viability assessment
11 design issues. Those will be worked in the design groups or
12 in the management groups.

13 This is almost like Christmas, 178 working days to
14 viability assessment, a figure that we keep track of on a
15 daily basis.

16 The commitment is still to provide a focus on sound
17 science and engineering, not to be overtaken by the enormous
18 flurry of activity that's going on, but to keep a credible
19 basis for the products.

20 And the challenge of the viability assessment is
21 looking at 15 years of information, putting it into a
22 coherent package and integrating this all together.

23 With that, let me take questions from the Board.

24 COHON: Thank you. Members? John Arendt.

25 ARENDR: On Page 7, or Viewgraph 7 I should say, the

1 acceptable cost estimate. What happens, or what criteria are
2 you using to provide an acceptable cost estimate? If I could
3 ask you a "what if" question; if this happens to be many
4 billions larger than maybe it ought to be, or whatever, does
5 that mean that you stop and viability assessment will go no
6 further? So again, I guess what do you mean by accepting the
7 cost estimate? What's involved in accepting that cost
8 estimate?

9 DYER: Primarily what we're looking for there is that
10 the basis of the cost estimate is believable, that the
11 independent review team concurs with the cost estimate. So
12 we're looking at cost estimate.

13 ARENDT: Not the number itself, then?

14 DYER: No, but if it comes in way out of any target
15 we're thinking about or considering, we're going to have re-
16 evaluate where we are.

17 ARENDT: Okay.

18 COHON: Priscilla Nelson?

19 NELSON: I've got three questions, which aren't totally
20 unlinked I hope.

21 DYER: Okay.

22 NELSON: The first one is on Page 6, you've got a
23 listing there that shows the five volumes.

24 DYER: Right.

25 NELSON: And the preliminary design concept is Volume 2,

1 and Volume 1 is the site description. I would like to verify
2 that when you say design concept, to me the repository is the
3 mountain plus the engineered component, and so the design is
4 the whole thing. The workings of the natural system and the
5 engineered system together constitute the design.

6 Do you think of that in Volume 2 as the design
7 where you're going to deal with how you model the natural
8 system, the interface of the natural system with the design
9 system to look--the engineered system to look at performance,
10 or do you see that as the engineered excavated repository
11 system and waste package?

12 DYER: Let me pass that to Tim Sullivan. Tim?

13 I agree with you, but I'm not sure how we parsed it
14 out in this document.

15 SULLIVAN: Tim Sullivan, DOE.

16 Well, Volume 2 will focus on the engineered aspects
17 of the repository, but as Russ mentioned in an earlier slide,
18 the design work that's been done, particularly recently, is
19 performance driven. So the process that relates the
20 assessment of performance to the design work will be
21 described in Volume 2 as well.

22 NELSON: Okay. To me, that will be important because it
23 needs to link the whole system, it's a system, together.

24 SULLIVAN: And that will build toward the performance
25 assessment volume itself. It will be in two places.

1 NELSON: Yeah, but the performance assessment model is--
2 you know, it's derived--we're not going to see the
3 interactions in the modeling in detail of the interface
4 between the natural and the engineered system within TSPA, I
5 would imagine, particularly during construction.

6 SULLIVAN: You'll see it there, as well as in Volume 2.

7 NELSON: You will?

8 SULLIVAN: We anticipate it.

9 NELSON: Okay, thanks.

10 Regarding the Busted Butte experiment, how did you
11 select the location, and is the Calico Hills there similar to
12 the Calico Hills at Yucca Mountain? I understand that the
13 experiment is being conducted to verify models in its
14 approach, but one wonders as well about how similar or
15 different the material are.

16 DYER: That's right. There's a question of
17 representativeness. Of course, Calico Hill changes from
18 north to south at Yucca, also.

19 Dennis, do you want to address that?

20 WILLIAMS: Dennis Williams, DOE.

21 We had a few choices whenever we came up with the
22 Busted Butte locality. It had been looked at quite a bit
23 over the years, but we were also at one point in time
24 attempting to do a similar study in P-Tunnel. So we had
25 looked at the bedded tuffs up in P-Tunnel as a potential

1 surrogate. Of course, we have the PTN, which is a bedded
2 unit in the ESF, which was also considered as a surrogate.

3 When we really got down to the end, though, looking
4 at the Calico Hills at Busted Butte and the Calico Hills in
5 the repository--or below the repository horizon, the detailed
6 mineralogical and lithological studies on it showed that
7 basically what we had was just a collapsed section of what
8 was the proposed repository. So we're out on the distal ends
9 of all of these units. So all those sub units are
10 represented at Busted Butte.

11 So we felt that instead of doing P-Tunnel or PTN or
12 something in the Prow area, the best spot to field this test
13 was at Busted Butte.

14 Does that answer or come close to answering the
15 question?

16 NELSON: As you do the deep bore holes that you are
17 doing up towards the crest, you're extending down into the
18 Calico Hills, and there will be a comparison made of the
19 difference in the rock and rock mass characteristics between
20 what you're finding there and what you're finding down at
21 Busted Butte?

22 WILLIAMS: Well, we've already drilled through the
23 Calico Hills in the repository area. Some of the older holes
24 went down through the Calico, so we know what the Calico
25 looks like in that area, the detailed core of those holes.

1 But we'll be comparing that against the other Calico Hills
2 cores that we get out at say SD-6, SD-11, SD-13.

3 NELSON: That will be interesting.

4 WILLIAMS: Yeah, we're trying to get as close as we can
5 come to, you know, a reasonable--I won't call it a surrogate
6 because it's really Calico Hills, but as close as we can come
7 to what's under the repository and obviously to get a test
8 started because this is a five-year test. There's three
9 phases to it. If we were going to have anything for license
10 application, we basically had to get it started now and use
11 the best test bed that we could come up with.

12 NELSON: Right. And I guess what my concern is, that if
13 we go from someplace that's not highly fractured to someplace
14 that is more highly fractured, if that's a possibility, you
15 may find different mechanisms predominating. And that's a
16 question to ask about interpreting and extrapolating from
17 test results to application.

18 WILLIAMS: Well, that's true, but if we went under the
19 repository horizon, which covers, you know, a lot of acreage
20 there, any one spot that we do a test may not be entirely
21 representative of that whole area as well. So it's a little
22 bit of a crap shoot, but we're hoping that the fracturing
23 will be with us and we'll be able to get some good results
24 out of it.

25 NELSON: Can I ask one more? Very short.

1 All right. You referred to the Geotech Report, and
2 you note that it's going to come out as a prediction based on
3 the geotechnical baseline reports, which is really geared
4 towards construction application.

5 Part of what I was interested in from the
6 Geotechnical Report dealt also with the geomechanics in terms
7 of information about joints and fracture variability as seen
8 in the cross drift. Will that be included in any way in the
9 other aspects of what you're going to do in the ECRB
10 predictive reports? Perhaps in the Hydrologic Properties
11 Report, will it be included, a prediction on what frequency
12 and characteristic of discontinuities will be expected in the
13 cross block drift?

14 WILLIAMS: Dennis Williams, DOE.

15 I don't know specifically. I haven't seen the
16 outline for the Hydrologic Predictive Report because as Russ
17 mentioned, they're two reports now. Earlier in the planning
18 cycle, it was one report, which basically would have
19 everything in it.

20 Perhaps Bill Boyle, I know that he has seen some
21 very recent materials on these predictive reports. If he
22 would like to jump up and help us out here, that would
23 probably be our last hope for today.

24 DYER: If Bill can't do it, we'll find an answer and get
25 back to you.

1 COHON: It's a lot of pressure, Bill.

2 BOYLE: Bill Boyle, DOE.

3 If I understood your question, were you asking
4 would we address a fracture frequency in the Geotechnical
5 Report and in the Hydrology Report?

6 NELSON: Okay. Strictly speaking, a geotechnical
7 baseline report doesn't have usually the kind of detail about
8 prediction on distribution and fractures likely to be
9 encountered. Instead, it's more geared towards behavioral
10 general response support requirements that are necessary.

11 My question is, the information that you've got on
12 the mountain right now should permit prediction of something
13 about the discontinuities themselves that are encountered,
14 towards orientation, frequency, et cetera, in the ECRB. And
15 is that going to be predicted perhaps in the context of the
16 hydromechanical properties?

17 BOYLE: I got the draft of the report in my in-box this
18 morning. I haven't read it yet. But if I had to guess, and
19 I'll find out this evening, the Geotechnical Report will
20 probably address things such as orientation and frequency
21 because everybody knows it's--

22 NELSON: That's typically--

23 BOYLE: --a concern to this project above and--

24 NELSON: Okay. Nelson, Board.

25 It's just when I've seen a GBR, they're generally

1 fairly broad, as is appropriate for their use, which is
2 predict ground support requirements, et cetera. But the
3 specificity of joint frequencies would be one that I would be
4 surprised to see in a GBR with that level of detail.

5 BOYLE: I'll find out in the draft tonight.

6 COHON: Thank you.

7 Richard Parizek?

8 PARIZEK: Parizek, Board.

9 Are there any preliminary data coming in on the
10 drift scale heater test? That's an immense experiment and a
11 beautifully set up thing. We were all very excited to see
12 that back in December when the switch was turned on the day
13 before we went underground. But anything new? Any
14 surprises? Any early data?

15 DYER: Bill, do you want to give a quick summary?

16 BOYLE: I was looking at the draft. I take it the
17 question was on the drift scale test?

18 PARIZEK: Yeah.

19 DYER: Correct.

20 BOYLE: You'll hear a presentation on it tomorrow by Rob
21 Yasek, but in answer to your question, no, no surprises yet.

22 PARIZEK: Some years ago I visited the G-Tunnel and
23 noticed drips in the ceiling coming freely into your tunnel.
24 And there's an opportunity to maybe look for colloids in
25 water of that type. Has anybody reported on colloid

1 migration of that type in the unsaturated zone? I mean, in
2 the soil profile you see evidence sometimes located--things
3 that you can see go to some significant depth. But here's--
4 you know, it used to be free water leaking on your head, and
5 you could see whether you had colloids in it moving, you
6 know, along with the water because I'm not sure how the
7 Busted Butte colloid experiment would be set up.

8 DYER: Yeah, I am not--is there anybody here familiar
9 with colloids? I know that we did an inventory of natural
10 colloids in the saturated zone at a couple locations. I
11 don't know what specifically we have in the way of tests that
12 might be associated with Busted Butte.

13 The original--well, if somebody's moving forward,
14 good, and I'll quit speculating here.

15 BOYLE: Was your question about the unsaturated zone?
16 Is that what you said? Okay. I'm not that familiar with all
17 the measurements in the unsaturated zone looking for
18 colloids, but in the single heater test, we did collect
19 water, and it was very close to distilled. The most out of
20 all the waters found at Yucca Mountain out of the saturated
21 zone or anywhere else, it was the one closest to looking like
22 it was distilled. It was very clean water.

23 And as far as drips in the unsaturated zone in the
24 ESF, there are none that collect, so the people haven't been
25 able to look at it.

1 PARIZEK: Yeah, and of the new borings, none of these
2 are planned to hit the carbonate aquifer beneath the tuffs?

3 DYER: No, not yet.

4 PARIZEK: So nothing new on that.

5 DYER: So we've still just got one penetration of the
6 carbonate aquifer.

7 PARIZEK: Currently you have experiments underway in an
8 alcove which shows this alteration or stress release when you
9 put a tunnel in, and this is what rock mechanics would
10 predict would happen, and you have days that show 10 to 100
11 per cent increase on air permeability within a half meter of
12 the roof, comparing tests before the alcove is dug and then
13 the results of digging the alcove.

14 If you take the east-west crossing, east-west
15 drift--

16 DYER: Yeah.

17 PARIZEK: --drift-crossing--

18 DYER: All right.

19 PARIZEK: --and put that above say emplacement drifts,
20 or even for that matter the ESF, there should be similar
21 damage done to rocks that's already been done around the ESF
22 and what would be done above as a result of this crossing.
23 Will there be experiments in there to look at that
24 permeability enhancement that occurs as a result of rock
25 removal in tunneling, and if so, will the separation be

1 adequate enough that you don't really have permeability
2 connections artificially generated by these two excavations?
3 Again, it says, you know, to be concerned about this
4 compromising of the repository emplacement drift levels.

5 DYER: Yeah.

6 PARIZEK: The issue has come up before, but exactly this
7 stress release thing continues to be of interest to me.

8 DYER: Maybe Dennis or Bill can help me here. I know
9 that we've got one niche planned right underneath the cross
10 drift. We'll look at connection between the upper and lower
11 level in that. And, of course, for the niche excavation,
12 you'll have some stress release associated with that. You'll
13 have a change in the stress field associated with the cross
14 drift, also.

15 PARIZEK: Right.

16 DYER: I'm not aware of anything specific beyond that
17 individual--or is there anything else, Dennis?

18 WILLIAMS: Dennis Williams, DOE.

19 One of the things that DIU looks at, of course, is
20 that matter of how much disturbance of the rock mass, so that
21 you can place the other--the cross drift the correct distance
22 away from it, and I think that's why we're out at the 15 or
23 20 meter distance.

24 But one of the advantages we see to having that
25 particular cross drift go over our existing north-south main

1 is we will have a niche in the north-south main right below
2 the cross drift, and then we will have an alcove in the cross
3 drift right above it, so we can do experiments to make
4 measurements on what's going on with the fracturing, the
5 induced fracturing, and also what the permeabilities are like
6 coming from that cross drift down to those lower levels.
7 Again, that's part of the reason for putting the niche at the
8 lower level, putting the alcove at the upper level and having
9 the appropriate space in between the two, which is then
10 verified by our determination of importance evaluation
11 process to make sure that we do the right thing and not do a
12 dumb thing.

13 COHON: Debra Knopman?

14 KNOPMAN: Two questions. The first has to do with the
15 confirmatory testing that you mention on Page 46, and you
16 said that these predictions would be out in roughly a June
17 time frame, which I think is great. The question in my mind
18 is, once those are out, then what's your approximate guess on
19 when you'll have some data to stack up against the
20 predictions, and what does that time frame look like in terms
21 of VA?

22 So, I mean, you've got these predictions coming out
23 in June, and work will be completed on the--at least the
24 construction of the cross drift by the end of the summer. So
25 you'll be getting data during the summer that will presumably

1 in some cases be able to be used to compare to your
2 predictions.

3 DYER: Well you'll be able to get initial observational
4 data--

5 KNOPMAN: Right.

6 DYER: --I mean, just--right as soon as you have the
7 opening. Some of the test--or we won't be able to field all
8 of the test in the cross drift this fiscal year.

9 KNOPMAN: Right.

10 DYER: It's a multi-year testing program in there.

11 So my initial reaction is that we'll be able to get
12 some of the information probably at the eastern end of the--
13 like hydraulic information--at the eastern end of the cross
14 drift. I doubt if we're going to have very much from the
15 western end. We won't be able to get in and get the drilling
16 program in place, get the instrumentation in the ground this
17 fiscal year.

18 KNOPMAN: Right. But do you have a plan for
19 disseminating that information, the limited amount that you
20 might have, in a timely fashion relative to VA?

21 DYER: I'm not aware of a specific plan. I mean, we'll
22 have to put one together. As the information comes out,
23 we'll have to bounce our findings against our current models,
24 our concepts that we have underlined in the VA models, and as
25 much as possible, validate the models to go on.

1 KNOPMAN: Right, because it's conceivable that that
2 information could be available and could be contradictory to
3 what is in VA?

4 DYER: That's correct. That's a possibility.

5 KNOPMAN: Second is, just in terms of the practicalities
6 of preparing for LA. Let's assume from VA this project
7 proceeds, and you proceed in the various work products that
8 you've laid out on the schedule that you've laid out. What
9 we saw with VA was that you had--I mean, there was no way--
10 you had to close the new data coming in. You had to conceal
11 up the models in effect for purposes of VA nine months, ten
12 months out. Where would that put us in terms of LA?

13 What I'm trying to get at is really how much time there
14 is between when VA comes out and when you're really going to
15 need to have most of your--the science that you're going to
16 go into your licensing application with done. Is that set
17 really just about two years after VA, or is it longer than
18 that?

19 DYER: Well, if you back up to the TSPA for the site
20 recommendation and LA, the 2001 time frame--Abe can help me
21 here--my suspicion is that it's probably the data freeze
22 time.

23 KNOPMAN: So, I'm sorry, what was the date?

24 COHON: When would you freeze the data for a 2001
25 TSPA/LA? When would you freeze the data?

1 DYER: That's what I'm looking for. It's 2001, but I'm
2 not sure which month.

3 VAN LUIK: Van Luik, DOE.

4 I'm not sure what the month is either, but
5 basically it's a one-year standoff between the product and
6 the final freeze on data, and it glides over different times
7 because like in the VA, some data was frozen before other
8 things. You know, as we progress in the modeling from one
9 phase to another, different times are freezed in different
10 phases of the input data.

11 COHON: Thank you.

12 DYER: That doesn't mean that late data that comes in
13 can't be evaluated. It's just in the discipline process,
14 you've got to keep control over the data that goes into the
15 models.

16 COHON: Last question, Alberto Sag η es.

17 SAG γ ES: Yes, Sag η es, Board.

18 You refer to an Engineered Materials
19 Characteristics Report in I think your Transparency 31.

20 DYER: Thirty-one?

21 SAG γ ES: Yes, I guess of the date--and Engineered
22 Materials Characteristics Report.

23 DYER: Okay.

24 SAG γ ES: And it's 12/97, I presume that the--or is it

1 '98?

2 DYER: It is December, '98? Willis Clark, Livermore?

3 CLARK: Bill Clark, Livermore. That report is done,
4 and it's going through publication right now. We're just
5 bounding it and putting it out. You'll have it very shortly.

6 SAG_γES: I see.

7 CLARK: The draft is available and has been for several
8 months.

9 DYER: Okay. A typo, it should have been '97 instead of
10 '98.

11 SAG_γES: '97. What is the content of the report?

12 CLARK: That is all of the materials, selection,
13 activities since basically 1982 that's been done on this
14 project with all of the waste package and peripheral
15 materials in it. It has property data, it has design-related
16 data, and then it has like an executive summary. It's a
17 three-volume type of report.

18 SAG_γES: Okay, I think I see.

19 CLARK: You've probably seen the Rev 0 and now the Rev
20 1. It's updated every two years, right.

21 SAG_γES: Okay, very good. And in a different area,
22 again on the cross drift. I understood when visiting the
23 facility last month that the cross drift was going to be
24 drilled using a water dust abatement procedure that was not

1 used in the ESF. Is that correct, and if that is the case, I
2 would like to know any idea as to how much water, for
3 example, per meter or per, you know--

4 DYER: I don't have those details. I know there is a
5 different dust abatement system that we've specified for the
6 TBM. I can get those details for you.

7 SAGES: All right. thank you.

8 BOYLE: Bill Boyle, DOE.

9 The amount of water would be specified in the DIE.

10 DYER: Right.

11 BOYLE: And so we can get that to you.

12 DYER: Well, the maximum would be.

13 BOYLE: Right, right.

14 DYER: I don't know what the operational volume that the
15 design is.

16 BOYLE: And if I may, I don't want to keep Priscilla in
17 suspense. I have the answer to the question. It's actually
18 not the entire report. It's the chapter of interest, and
19 it's to be incorporated in the report, and it was prepared by
20 Steve Beason and the Bureau of Reclamation. And they do go
21 into great detail by unit, by bore hole and by location in
22 the ESF as to the fracture frequency, which may not be done
23 in the typical report. But they are well aware that this is
24 not a typical tunnel, and that's why they did it.

25 COHON: Thank you, and thank you, Dr. Dyer.

1 DYER: Yes, sir.

2 COHON: Wendy Dixon will now give us an update on Yucca
3 Mountain environmental programs. Ms. Dixon is Assistant
4 Manager for Environment, Safety and Health for the Yucca
5 Mountain project. She has a bachelor's and master's degree
6 from Washington State University. She's had almost 20 years
7 of experience in the management of large projects. Welcome,
8 Ms. Dixon.

9 DIXON: It's a pleasure to be here today. The
10 presentation that I put together really focuses around our
11 efforts on our Environmental Impact Statement for the
12 Repository Program.

13 As the construct of this presentation, it includes
14 a short discussion of the background on NEPA, the Nuclear
15 Waste Policy Act, what the regulatory drivers are, a
16 description of the repository Environmental Impact Statement
17 as it relates to our proposed approach. It has in it the
18 proposed action, approach to the development of the document,
19 a little bit about what we're doing for the transportation
20 analysis, the no-action alternative analysis, technical
21 support to support the EIS, where does this information
22 actually come from, and the disciplines to be evaluated.

23 We also provided you with some information on the
24 history of where we've been and where we're going, and
25 there's some milestone schedules in there about up and coming

1 major deliverables here.

2 With respect to our regulatory drivers, and I know
3 you're familiar with these, but I wanted to go over them
4 briefly, one obviously is the Nuclear Waste Policy Act.
5 Another one is the National Environmental Policy Act. The
6 implementing regulations to that are really from the Council
7 on Environmental Quality, and then DOE has its own NEPA
8 implementing regulations that we follow in the preparation of
9 this document.

10 The objectives to the repository EIS, well, this
11 EIS will accompany a site recommendation and, if appropriate,
12 a license application, as required by the Act.

13 One of our objectives is to prepare this document
14 in such a fashion that it complies with the Nuclear Waste
15 Policy Act, CEQ regulations and DOE implementing regulations
16 as well, and to prepare an EIS that the NRC can adopt to the
17 extent practicable. And again, that was defined in the Act.

18 The Act did a lot of things for this repository
19 EIS. Congress made a number of programmatic decisions for us
20 that are normally not made in an EIS, and by so doing, by
21 providing us with the road map, they basically streamlined
22 what we would otherwise have to do as it relates to looking
23 at alternatives in the EIS. Congress made these decisions
24 for us. They said in the Nuclear Waste Policy Act that in
25 our repository EIS, we need not consider the need for a

1 repository, alternatives to geologic disposal or alternative
2 sites to Yucca Mountain.

3 As such, the primary decision that this EIS will
4 end up supporting is the decision as to whether or not we go
5 forward with, at this point in time, a site recommendation.
6 That is the primary decision that we're looking at right now.
7 And as such, the proposed action ties to construct, operate
8 and eventually close a geological repository for the
9 permanent disposal of spent nuclear fuel and high-level
10 radioactive waste at Yucca Mountain. That is our proposed
11 action.

12 So as Congress made a number of determinations for
13 us and streamlined this EIS process, what we're really
14 looking at is, is do we go forward and recommend the site
15 recommendation or not, and then try to bound the impacts in
16 this analysis, what we have looked at, or what we call
17 implementing alternatives. And those are tied to the three
18 scenarios based on thermal load objectives. There is a high
19 thermal load, which is anything over 80,000 metric tons, and
20 our reference case will be used for that, which is 85 metric
21 tons; an intermediate thermal load, and we'll use a
22 conceptual design there, 60 metric tons; and a low thermal
23 load, and we'll use a conceptual design there of 25 metric
24 tons.

25 What we're attempting to do with these implementing

1 alternatives is to provide a bounding analysis to preserve
2 future program flexibility and design evolution. We want to
3 bound the impacts through these implementing alternatives and
4 have flexibility from small changes later on. And I think
5 what we're doing will do just that.

6 Performance relies, as you know, in the
7 interrelationship, and that was mentioned earlier, between
8 the engineered and the natural systems. We know that spent
9 nuclear fuel and high level waste produce heat, and heat can
10 affect a number of different things.

11 So by using our implementing alternatives tied to
12 thermal load, we can look at performance considerations, such
13 as heats impact on the longevity of waste packages, the
14 stability of the tunnel, the geochemistry and hydrology of
15 the rock.

16 And we also know that we can look at other
17 considerations by bounding the implementing alternatives in
18 this fashion, and those can include things like industrial
19 safety. If I have a low thermal load and I need to build
20 more tunnels, I have additional opportunities to have
21 accidents, worker risks in the process of constructing the
22 tunnel. And they take a look at whether or not there's a
23 potential differential between impacts and surface ecosystems
24 from thermal load. And finally, if I'm constructing a tunnel
25 and I have a larger amount of tunnel that I'm constructing,

1 I'm going to have a lot more muck, and I'm going to disturb a
2 lot more acreage as it relates to muck storage.

3 So there's a number of things that can easily be
4 bounded through looking at our implementing alternatives.

5 The reference design will be the design that we'll
6 utilize for high thermal load. The EIS will evaluate the
7 intermediate and low thermal load designs, using those
8 elements that are common to high thermal load, that are
9 common to all three designs, but focusing really on what
10 those differences are between the reference design and the
11 other two that are necessary to make meaningful impact
12 assessments.

13 We'll also address design enhancements. Those will
14 be considered as potential mitigations, and they'll be tied
15 to whatever the appropriate package is for each one of the
16 implementing alternatives.

17 Based on comments from scoping, the EIS will also
18 evaluate potential expanded inventories of waste. There will
19 be a base case, and the base case will tie to the site
20 recommendation. The base case will be 70,000 metric tons of
21 spent nuclear fuel and high-level waste, with the typical 10
22 per cent allocation to the Department of Energy.

23 Then there will be a module, we call Module 1,
24 which includes the base case plus the remaining spent nuclear
25 fuel and high-level radioactive waste from commercial or DOE

1 sources, and then Module 2, which will include Module 1, plus
2 also adding the commercial "greater-than-Class-C" waste and
3 DOE "special-performance-assessment-required" waste. These
4 modules will be looked at as part of cumulative impact
5 analysis.

6 The EIS will also look at transportation as part of
7 its evaluation. There will be several different
8 transportation options evaluated. We don't want to speculate
9 what the exact mix will be, you know, over the decades, if
10 this program goes forward, on transporting material to the
11 site. We know that there will be some kind of combination of
12 rail, of heavy haul, of legal weight truck. So again, we
13 want to bound what those impacts might be.

14 And to bound them, we have looked at two scenarios,
15 one that upper bounds them and one that really lower bounds
16 them on the lower end. And the upper bounds scenario is
17 using mostly truck to the repository. So in this analysis,
18 we will use, whenever possible, truck transportation, legal
19 weight truck transportation to the repository, with the
20 exceptions noted for those materials that can't go in legal
21 weight trucks, such as the Navy fuel.

22 On the other side of the house, we'll also look at
23 rail to the repository, again recognizing that there are some
24 reactor sites that can't use rail because they don't have a
25 railhead at their site, or they don't have crank capacity to

1 deal with whatever needs to be done for rail. So there will
2 be exceptions, when appropriate, tied to rail. But for the
3 most part, to the extent practicable, it will be bound by,
4 you know, using rail, if at all possible.

5 There's also some options for the state of Nevada
6 that will be analyzed that are specific just to the state of
7 Nevada, and that in part is because there is no rail line
8 that exists right now all the way to the repository, a
9 potential repository area. And if one wanted to do heavy
10 haul, there used to be a place for an intermodal transfer
11 from the railhead to, you know, the heavy haul vehicles.
12 We'd need to look at that. And then we're also looking at
13 legal weight truck shipments to the site. So there's a
14 couple of additional scenarios that are being evaluated for
15 the state of Nevada.

16 We will, in all cases, look at impacts that are
17 incident-free and impacts that are related to accidents. We
18 will look at impacts that are both radiological and non-
19 radiological. Radiological impacts are cargo-related
20 impacts, and non-radiological impacts are vehicle-related
21 impacts, i.e., accidents that could occur, in a normal as an
22 example, on the roads.

23 I don't know how easy this is to read. On the rail
24 side of the house, we're evaluating several different rail
25 corridors and the impacts from the construction of those

1 corridors in the Environmental Impact Statement. There is
2 one rail corridor that comes down from the north and would go
3 on up to the potential repository site. There is a corridor
4 that goes in around Caliente and the federal land into the
5 site--Caliente route. There's a Chalk Mountain route that
6 looks at and analyzes going through the Nellis Range and the
7 NTS, and then there are two lines that come in from--one from
8 the northeast side of Las Vegas and one from the southern
9 part of Las Vegas on up to the site. It's probably easier to
10 see in your handout.

11 I mentioned intermodal transfer analysis, and there
12 are several sites that we're looking at there as well. One
13 is up in Caliente, and you would off load at the intermodal
14 transfer site and then heavy haul to the repository,
15 potential repository site. And there are several options off
16 of Caliente, one going, again, pretty much all the way around
17 to Federal Reserve property into the potential repository
18 area, one going through the Chalk Mountain area. And then
19 the one that would be a DOT-preferred route, if this one were
20 selected, coming down, and it still goes through Las Vegas
21 and up around.

22 There's also a route, or an analysis, that we're
23 looking at for an intermodal transfer location at the
24 Jean/Sloan area, and there's another one at the Apex/Dry Lake
25 area.

1 When we mention DOT-preferred routes, the DOT, as I
2 think some of you know, have regulations that basically tell
3 you what to utilize, and the State has the opportunity to
4 come up with a State-preferred route, and a State-preferred
5 route is, you know, certainly within the hands of the State
6 to go to the Department of Transportation on. From a NEPA
7 perspective, whatever they do has to be less risk--no more
8 risky than what's already done under the DOT regs. So by
9 definition, we're bounding the impacts by what we're doing.
10 If they come up with another route, it cannot be of a higher
11 risk than what a DOT-approved route would otherwise be.

12 So in line with that right now, looking at what
13 would be a DOT-preferred route, unless otherwise designated
14 by the State, this is for legal weight trucks, you would end
15 up coming in--there's a beltway that's planned that should be
16 constructed prior to the transfer of any waste to the site.
17 You would end up coming up 15 through 95 to the test site.
18 And again, I underscore the fact that the State of Nevada can
19 come up with a DOT-preferred route, but they have not yet, so
20 this is in accordance with the federal regulations.

21 Okay. We'll also look at and bound impacts from
22 operational exposure from handling materials and waste during
23 this EIS, and to do so, we're going to look at basically two
24 packaging options. One is looking at mainly uncanistered
25 material, and the other one is looking at using mainly

1 canistered material.

2 And again, we don't want to speculate over the
3 period of time of this EIS, you know, how this material is
4 going to come in. It will probably come in in both fashions.
5 So we want to, again, bound what those impacts would be by
6 looking at the upper and lower bounds.

7 When you're looking at mostly uncanistered
8 material, you're looking at more operations, more handling,
9 more exposure to the workers. So that will be the upper
10 bound of the impact analysis.

11 We'll also look at differences between these two as
12 it relates to dry storage and to storage that is in pools,
13 wet handling, and assess differences there as well. And that
14 could also, or would also include any differences in waste
15 stream that might come out from the two approaches.

16 The EIS will look at a no-action analysis. The no-
17 action analysis provides an environmental baseline against
18 which the EIS can compare impacts from the proposed action.

19 So in this particular case, we will look at the
20 impacts from leaving the spent nuclear fuel and the high-
21 level waste at generator sites, and there's about 79 of those
22 out there, and analyze two scenarios to bound the impacts.
23 One will be to maintain institutional control for a 10,000
24 year period, and the other one will be loss of institutional
25 controls after 100 years.

1 Now, the scenario does not just say you walk away
2 from the fuel where it is right now. It starts out with
3 putting the material in appropriate dry storage at the sites
4 prior to the initiation of analysis.

5 For the Yucca Mountain site, you would determinate
6 your Yucca Mountain activities and do your reclamation
7 program, and that would be the end of anything tied to the
8 repository program.

9 Under the scenario that's tied to long-term
10 institutional control, we would evaluate the radiological
11 impacts from inspection, from handling and repackaging. So
12 you'd have over, you know, 10,000 years, or a long period of
13 time, impacts dealing with, you know, operational handling of
14 this material.

15 You would also look at costs from facility
16 operations because you're going to have to continue to
17 maintain this facility. You're going to have to replace this
18 facility from time to time. So we'll compare the various
19 scenarios from a cost perspective as well.

20 With the loss of institutional control, you'll
21 evaluate the impacts of radiologic release into the
22 environment. And in this particular case, eventually your
23 facility has degraded, your waste package is degraded, and
24 you have radioactive articulates that will, you know, go
25 through several pathways, air, surface water being two, and

1 maybe some from ground as well. It will be different for
2 each site.

3 Where are we getting this information from? Well,
4 we've been out there collecting data on this program now for,
5 you know, 15-some years, and there is a plethora of
6 information available for us to pull from for the
7 Environmental Impact Statement.

8 Site characterization data is plentiful as it
9 relates to supporting the site recommendation and a license
10 application. We've been collecting environmental data now
11 for a number of years as well, as it relates to requirements
12 under the Act and requirements under other, you know,
13 regulatory permits, programmatic agreements and studies and
14 so forth. So there is a lot of information that is
15 available.

16 We've also gathered additional data to support the
17 Nevada Transportation options, the no-action alternative,
18 expanded waste inventories. We're looking at other EISs that
19 are available out there in the public domain; Fernald
20 Research Reactor EIS, information from Idaho, spent nuclear
21 fuel EIS, information from WIPP, the NTS site wide EIS. As
22 you know, NEPA encourages you to incorporate by reference and
23 utilize other material to the extent possible, and we intend
24 on doing that.

25 We're also pulling data from other DOE sites tied

1 to, you know, their inventories that might be coming here or
2 the no-action alternative, as well as looking at publicly
3 available information tied to utility safety and
4 environmental reports. We spent a lot of time in NRC
5 libraries looking at what they have available as well.

6 A key challenge really is not do you have enough
7 data available to write this EIS, but ferreting out the large
8 amount of information that is available to what is an
9 appropriate subset for the Environmental Impact Statement
10 document.

11 There are a number of technical disciplines that
12 are normally analyzed in an Environmental Impact Statement,
13 and the next two or three slides really go through what those
14 resource areas are. What's on the right are just, you know,
15 examples of impact measurements. There are others that might
16 be more appropriate than what are down here. We just wanted
17 to get you a feel for how these things are measured. I'll
18 just put them up real briefly.

19 Okay. Where have we been, and what path have we
20 followed, and where are we heading? Well, we published a
21 Notice of Intent, which really kicked off this Environmental
22 Impact Statement process in August of 1995, and that
23 initiated public scoping. And we conducted 15 public scoping
24 hearings around the country. Approximately 800 people
25 attended, and we ended up with 1,000 comment documents, and a

1 comment document could be something that was a paragraph or
2 two long, or it could be something that was fairly
3 substantive in size. So to say the least, we had a lot of
4 interest in what was going on in this program.

5 I guess I would say that one of the reasons why I
6 spend so much time on talking about transportation is when
7 you get outside of Nevada, transportation is the issue that
8 is of greatest interest to a lot of people out there in the
9 general domain and is worthy of, you know, that attention.

10 We prepared transcripts. They were placed in
11 reading rooms around the country. And scoping closed in
12 December of 1995. And, unfortunately, we ran into some
13 serious budgetary problems shortly thereafter and put
14 everything aside for a period of time.

15 We decided, or believed, that our budget would look
16 better in 1997, so we proceeded forth with getting the
17 contractor on board. The contractor ended up being Jason's
18 Technology. They were selected in September of 1996, and we
19 started working again on this EIS in October of 1996, the
20 beginning of the FY-1997.

21 Now, one of the first things that we did was pick
22 up those 1,000 comment documents and started going through
23 the comments that came out of the scoping process to assess
24 what those comments were, how we might deal with them. We,
25 in fact, published a comment scoping document in May of this

1 year.

2 What we've been doing principally since this point
3 in time is reviewing existing project data, data that's
4 available through the various sources that I've mentioned,
5 assessing data gaps, if any, communicating data needs with
6 dinner organizations so that we're not just going to the
7 technical databases and trying to pull things out, but
8 we're going to the people that built those databases and
9 asking them for specific pieces that are appropriate to our
10 needs.

11 And we've also been dealing with consultations with
12 outside parties and getting information from them that's
13 appropriate, such as an ELM and so on; Air Force.

14 Okay. Major milestones that we have coming up, the
15 draft Environmental Impact Statement comes out in July of
16 1999. This document will be out for public review. There
17 will be hearings on this document. In August of 2000, we'll
18 issue a final EIS, which, you know, will also deal with the
19 comments that come out of the hearing process on the draft.
20 And in September, 2000, we plan on issuing the record of
21 decision.

22 And that concludes the formal presentation.

23 COHON: Questions? Priscilla Nelson?

24 NELSON: Nelson, Board.

25 My question relates to air quality and the

1 possibility that there could be active ventilation
2 incorporated in a repository. How is that possibility
3 included in the work you're doing now and will be producing
4 in your report? And was the year 2000 the record of
5 decision? To what extent will consideration of active
6 ventilation of the repository be considered in that document?

7 DIXON: Okay. Let me step back a couple of steps, and
8 then I'll get to that.

9 What we intend on doing is looking at basically the
10 reference case, which is high, and you have your two, you
11 know, conceptual designs that are for your intermediate and
12 low. If the design site of the house in the near term,
13 before the FDIS gets out, and we still have time to
14 incorporate whatever design changes exist, do something such
15 that they incorporate into the design enhancements--and
16 you're mentioning one, or that may be an enhancement. I
17 don't know if it will be an enhancement or not. That's the
18 question. If they incorporate something into the design
19 because they've done the analysis, and they believe it needs
20 to be done, and it becomes part of the design, we'll pick
21 that up and utilize it.

22 If on the other hand, there has been no decision
23 made to, you know, have active ventilation for a period of
24 time or put in drip shields or do one of these other
25 enhancement options, they're still being looked at, they're

1 no sure, the EIS will take whatever the design is that we're
2 using at that time that's been incorporated, and we will look
3 at what those impacts are.

4 And by definition, anything that is done beyond
5 that, and that's what we call the mitigations, anything that
6 is beyond that would be done to enhance the performance of
7 the repository, not the other way around. So we will have
8 bounded the impacts by doing the analysis with whatever the
9 design is. Those enhancements have got to improve
10 performance, not reduce it, or you would not do the
11 enhancements by definition.

12 NELSON: But enhancements are not always only simply
13 acting, but often are tradeoffs, and so it's a--

14 DIXON: Right. Let me take another step back again.

15 NELSON: Okay.

16 DIXON: Okay. Taking another step back again, if there
17 was the potential of an enhancement that produced a
18 significant environmental impact that had not otherwise been
19 considered, then you would have to go back and do a
20 supplement to your EIS. If on the other hand it changed
21 things, but it didn't produce a significant impact in the
22 process, it just changed things, you would not have to.

23 With respect to impacts in air quality, I mean,
24 we'd have to look at that a little bit more closely to
25 understand what kind of bounding conditions might happen by a

1 ventilated repository over time and if that might not already
2 be incorporated in the work that we're already doing. I
3 could not address that specific question right now.

4 NELSON: Okay. So you don't know right now whether
5 ventilation is going to be included in the case that
6 you're going to consider for the EIS, the year 2000
7 document?

8 DIXON: We will include in our design case whatever is
9 coming out of--

10 NELSON: --the reference design.

11 DIXON: That's right, whatever that is. That's one of
12 them. Again, we have two others.

13 COHON: Dan Bullen?

14 BULLEN: As a follow-up to what Priscilla said,
15 basically a high areal mass loading in a ventilated
16 repository isn't necessarily a high thermal output, and so
17 you would have to balance the high area mass loading and
18 ventilation with the--I don't have to dig as many tunnels--

19 DIXON: Right.

20 BULLEN: --to do a low thermal loading issuance. So
21 that's the tradeoff.

22 DIXON: Yeah.

23 BULLEN: But a similar follow-on question that's outside
24 the bounding calculation that you appear to be doing; you
25 said uncanisterized fuel basically would have the highest

1 handling and the highest worker exposure. Do you have
2 capabilities, or would you have to revisit the EIS if you
3 wanted to do things that were even broader enhancements, like
4 fuel ride consolidation, where you ended up with less
5 packages and potentially less tunnels, but you had a
6 potentially higher worker exposure? Is that a revisiting of
7 the EIS, or do you have to--will you be able to take a look
8 at that?

9 DIXON: I think you'd probably have to go out and do a
10 supplement. If you're doing it for something that's proposed
11 that you haven't analyzed in the EIS, you know, that would
12 have to be looked at.

13 BULLEN: So a future EIS evaluation, subsequent to maybe
14 even license application--

15 DIXON: Sure.

16 BULLEN: --if you wanted to take a look at things that
17 would be a supplement to the performance of the container--
18 and I guess I'm looking at long-term benefits. One of the
19 big benefits I see from consolidation is potentially no post-
20 closure criticality issues? If you can preclude water;
21 you've got a tightly-packed can, and if it falls apart,
22 granted, it could fall into an optimum geometry, but the odds
23 of that are pretty darn small because it's pretty hard to
24 make a reactor work anyway.

25 So I guess I was just wondering what the scenario

1 was, but you said you would have to go back and revisit the
2 EIS and open it up to public comment and go through the
3 entire process again, then?

4 DIXON: It depends. A supplement does not require going
5 out for scoping or public comment.

6 BULLEN: Oh, okay. Thank you.

7 COHON: Paul Craig?

8 CRAIG: Craig, Board. I'd like to explore the no-action
9 analysis, which appears to me--it shows up on Page 17. It
10 appears to be a very limited no-action analysis, where you
11 propose just to leave the waste exactly where it is now with
12 all the reactors, and then you have these 10,000-year, 100-
13 year guidelines.

14 A lot of other possibilities have been suggested at
15 one time or another. For example, you could take waste that
16 is at particularly unfortunate locations and put it someplace
17 else. You could have centralized storage someplace, at Yucca
18 or elsewhere. And you could have a situation in which the
19 decision for Yucca Mountain doesn't occur at the 2002
20 timetable, but is postponed until some future time. And all
21 of those would appear to me to be legitimate alternatives to
22 the proposed action.

23 Are you going to consider any of those or others
24 along that line?

25 DIXON: When we looked at our no-action alternative, we

1 had people that brought up all different kinds of things that
2 might be possible.

3 CRAIG: Yes.

4 DIXON: And they included the examples that you just
5 mentioned. And when we sat back and analyzed it again, the
6 no-action alternative deals with no action, and every one of
7 those things is not a no-action alternative. It's a
8 different proposed action alternative. It is a proposed
9 interim storage, a proposed consolidation somewhere else,
10 and, you know, that's not really no action. No action is
11 doing nothing, and basically that's where we are heading.
12 We're not going to go out and propose another scenario. You
13 know, again, like I say, that's another proposed action, not
14 a no action. But it's not a question we have not heard
15 before and we hadn't thought about.

16 COHON: Debra Knopman?

17 CRAIG: It's an interesting definition of no action.

18 COHON: I'm sorry, Paul.

19 Debra Knopman?

20 KNOPMAN: Knopman, Board.

21 First of all, I want to thank you, Wendy, for
22 coming before us and giving us this overview.

23 You mention on the second to the last page of your
24 presentation that one of the things you've done since you
25 were able to start up again in FY-97 was to review additional

1 data collected to meet EIS needs. But I'm wondering if you
2 could give us some idea, and I'm also, I'd just say,
3 sympathetic with the problem of having to ferret out what's
4 actually useful from the masses of data collected. But I
5 guess I'd like to get a little bit more specific about maybe
6 areas where you think existing data was weak and where you
7 felt like--or feel like you need to pursue a little bit more
8 effort to gather the data needed for the EIS.

9 I'm not sure this is right, but I would say, for
10 example, in the area of biological resources under when the
11 repository is getting close to a peak heating--heat load.
12 What do you do about information of that? How do you define
13 really some baseline of effects?

14 DIXON: What we do is go back to basically the NEPA
15 provision of a sliding scale, and that basically gives you
16 guidance that you spent time and attention on those things
17 that are truly significant and away from those things that
18 really aren't.

19 And you look at--we'll just take an example that
20 you just gave right now. Let's look at the habitat at Yucca
21 Mountain. Question Number 1, is this habitat unique in any
22 way or is there a lot of it out there that looks and smells
23 and tastes just exactly the same as what's at Yucca Mountain
24 or very similar?

25 Second question is, is there wetlands there? Is it

1 an agricultural area? Is it critical habitat? You know, are
2 there endangered plants or animals involved? You go through
3 sort of the list on what is there, you know, and what are the
4 issues.

5 And then the next step is--you know, that gives you
6 a certain amount of information. And, obviously, if I don't
7 have critical habitat, if it's not a unique environment, it's
8 not telling me that I need to spend a whole lot of time in
9 there for certain things.

10 Now, with respect to the question on thermal load,
11 the first question we would then look at would be a question
12 as it relates to what is the expected increase on thermal
13 load for the high thermal load because that will be the
14 upper-bounded case.

15 And we looked at what the design assumption was.
16 The design assumption was 2 degrees C and--

17 KNOPMAN: At the surface.

18 DIXON: At the surface, right.

19 KNOPMAN: Okay.

20 DIXON: We looked at whether or not the people doing the
21 analysis were expecting that they would come in underneath
22 that design assumption, and they're still telling us yes from
23 the input that we're getting.

24 We looked at what we have picked up as it relates
25 to soil temperature probes. We have eight sites, eight micro

1 sites within the sites. The variation, depending upon
2 elevation and aspect, runs between 1 and 7 as a mean, and up
3 to 13 degrees C as, you know, individual sites. There's a
4 lot of variability naturally there already. Does anything
5 that we have seen to date indicate that we need to go out and
6 do additional data?

7 So you don't just take an area and say the answer
8 is yes or no. You've got to take, as you know, the area in
9 context with everything else that you're looking at with the
10 problem at hand. And you do an analysis, and then you make a
11 determination of, with all of these things said, is this
12 something that is important for us to spend more time on?
13 And, you know, I mean, that's sort of an example.

14 COHON: Jeff Wong.

15 WONG: Jeff Wong, Board.

16 Let's see, Russ Dyer mentioned that he has 176 days
17 left. I calculate you have 558 days. So within those 558
18 days, is there enough dated work planned for the EIS, like
19 what are going to be the elements, the contents of the EIS,
20 the time frame for completion for each one of those elements,
21 the data sources that go into each one of those elements?

22 DIXON: We have an annotated outline that basically
23 outlines the ingredients of the EIS that we're working on.
24 We're pretty close to closure, but not there yet. And it
25 will probably change as we start writing the chapters because

1 as you know, as an author, you can come up with an annotated
2 outline, and as you start building it, it doesn't work quite
3 right, and you've got to change it. So, I mean, but it
4 would, you know, basically provide the elements. They might
5 change order.

6 WONG: And as you go along in the 558 days, will there
7 be periods of time or at what juncture do you think that the
8 Board would be allowed to take a look at the annotated
9 outline?

10 DIXON: You know, I don't have a problem with showing
11 you the annotated outline, and if you give me a couple weeks
12 or so, as long as you recognize that we might change it
13 again, you know, as time progresses.

14 WONG: Sure.

15 DIXON: You know, I don't have a problem with that.

16 WONG: Thank you.

17 COHON: Richard Parizek?

18 PARIZEK: Yeah, Parizek, Board.

19 Just a point of clarification for my benefit. How
20 are the linkages occurring here between the draft EIS going
21 in, and if the review process takes longer or there's a lot
22 of comment and you have to do some things that take time,
23 does that hold up a recommendation of the site in the LA
24 application? I mean, must you go through your hurdle and get
25 approval before you go forward?

1 DIXON: I get reminded of that with the critical path
2 all the time, you know? So, yeah, we, you know, are the step
3 that's necessary before the site recommendation.

4 PARIZEK: You can go forward with these other two
5 issues?

6 DIXON: Yeah.

7 PARIZEK: So that will be a hurdle, and the whole
8 program then hinges on the success of your effort--

9 DIXON: Yes.

10 PARIZEK: --and the review process from the public.

11 DIXON: Yeah, well, the hearing process is going to
12 result in--I don't have to speculate. There will be a number
13 of comments made on the draft EIS, which we are going to have
14 to address in the final EIS, and that will be a horrendous
15 job.

16 PARIZEK: In all likelihood, then, is the time frame of
17 2001 and 2002, it's probably going to slip; is that fair?

18 DIXON: Oh, wait, we didn't say that.

19 PARIZEK: Well, I'm just thinking about how the real
20 world works.

21 BARRETT: Lake Barrett, DOE.

22 Not necessarily. I mean, NEPA processes have been
23 around--a couple of decades we've been doing these things.
24 So there is a formal process. It is likely there will be
25 adjudicatory actions on this, you know, afterwards. So we

1 must follow due process.

2 But there will be a public comment period, and
3 there will be comments. Then we will--in the schedules, we
4 will respond to those comments and follow the process. I
5 don't believe there's anything in the EIS that we cannot
6 meet. Yes, it's probably the critical path item out at that
7 period, but there are many other almost critical path items
8 as well in the licensing and everything else.

9 So, but Wendy is on the critical path, and I
10 believe we can meet the schedules as we've shown them in the
11 program plan.

12 PARIZEK: Now, a question about the WIPP experience.
13 Was WIPP able to meet as scheduled in their EIS process?
14 Does anybody know?

15 DIXON: I have somebody working on my team that also
16 worked on the WIPP EIS, and I see him nodding his head. I
17 presume that means yes, David.

18 LECHEL: Dave Lechel, contractor.

19 Yeah, I worked on the last WIPP supplement, and the
20 schedule was met for that. There was a delay in getting
21 their record of decision out from their original schedule out
22 of the Carlsbad area office, but the EIS itself was, indeed,
23 completed pretty much on schedule.

24 COHON: John Arendt?

25 ARENDR: Arendt, Board.

1 In making your transportation analysis, and you're
2 bounding--or you say you're producing the broadest range of
3 potential operating conditions, how are you using, or how are
4 you evaluating the fact that the privatization effort that
5 you're assuming will be used--the privatization effort, as I
6 see it, may introduce a fair amount of variables. And I'm
7 wondering how you might handle those variables, since you
8 really don't know what the privatization effort is going to
9 be?

10 Secondly, since there isn't apparent lack of
11 standards, that further complicates, I think, the matter.
12 And I'm just curious as to how you're going to bound those
13 conditions?

14 DIXON: We will look at the RSA in the EIS, but there's
15 a lot of flexibility that the service contractor can do that
16 won't impact the NEPA analysis. You know, the DOT regulated
17 routes are going to be there irrespective. We'll have to
18 take a look at potential impacts from carrying many packages,
19 but who selected this earlier, you know, it's not that
20 important. What's important is the procurement process for
21 getting the materials in place to do the transportation, and
22 that will be a given no matter what. So we will look at and
23 analyze those things in this EIS as well.

24 COHON: But don't you have to choose specific routes in
25 order to do the estimates that--

1 DIXON: Well, that's what--DOT regulations give you a
2 preferred route. There are 10 states right now that have
3 come up with their own individual preferred routes, and that
4 has already been included into the models that we're working
5 from.

6 So when you do the analyses, you are required
7 basically to deal with the DOT preferred route, you know,
8 that takes you from wherever the generator site is to
9 wherever it is you're going.

10 Now, obviously, if there are bad road conditions
11 and things happen that are problematic, whoever the
12 transporter is, you know, has some flexibility within its
13 dealings with NRC and other things to deal with an alternate
14 route. But it's fairly prescriptive. It's not a matter of
15 saying anybody can pick any route. You know, you're pretty
16 much driven to the DOT routes.

17 ARENDR: One particular area, I think is emergency
18 preparedness, and emergency preparedness, as I understand it
19 now, the way it's being handled in the privatization area, I
20 honestly don't know--I think it can vary. And since that's
21 extremely important, I'm wondering how you are considering
22 also the emergency preparedness, then, along the routes.
23 And, of course, this has nothing to do with routing. Are you
24 looking at all that emergency preparedness or--

25 DIXON: Emergency preparedness is covered a little

1 separately under, you know, other things. In the EIS, you'll
2 look at accidents, and accidents are fairly random, and you
3 can't make a determination as to where they are ahead of
4 time. So--

5 BARRETT: Lake Barrett, DOE.

6 The EIS process that Wendy is doing I believe will
7 be independent of how the Department works with the states to
8 assist them under 180-C, to assist them with their emergency
9 preparedness. She will do the outright technical
10 environmental analysis of what happens, just like it's in
11 WIPP and in spent fuel and other things, the traditional NEPA
12 way of doing analysis. Either way we do it, there will be a
13 degree of assistance to the states to help them. And the
14 last approach that we came out on our revised policies and
15 procedure is to try to get all the states and tribes up to a
16 minimum level that they would specify.

17 And your previous question on the RSA, Regional
18 Services Administrator, or contractor, if it's privatized or
19 if it is government-owned/contractor-operated, the safety
20 standards, NRC regulatory, are still the same. So I don't
21 expect there to be any difference in Wendy's analysis if it's
22 a market-driven approach or if it is a government-centric
23 approach. And the market-driven, if it doesn't work, there's
24 always a fallback, would be a government-owned/contractor-
25 operated system, as, you know, WIPP was.

1 COHON: Debra Knopman?

2 KNOPMAN: Knopman, Board.

3 Wendy, I just wanted to ask you a few questions
4 about the methodologies employed in the EIS for analysis. Is
5 this going to be--would some of that information be available
6 to us in the annotated outline that you will be able to share
7 with us? That wouldn't be in there?

8 DIXON: No, the annotated outline does not include
9 methodologies.

10 KNOPMAN: Okay. Is there another EIS--since you're
11 looking at other EISs that have been done by either DOE or
12 other federal agencies, is there one that presents a set of
13 models for you of sort of how to go about your separate
14 analysis in--I don't know whose phone that is.

15 DIXON: Whoever is calling, answer the question. No.
16 Okay. There isn't an overall decoder ring. I think that,
17 you know, if you looked at a number of EISs, you would see a
18 lot of comparative work, you know, that will also do, i.e.,
19 you know, habitat loss and impact on other uses, and impact
20 on water quality, and impact on air, and have you met the
21 ambient air standards, or, you know, is there a problem, and
22 latent cancer fatalities if you're dealing with a program
23 tied to, you know--radioactive issues will always be included
24 with respect to standardized models because the EISs are very
25 different, and you will see different approaches. A lot of

1 things don't have models that you use. I mean, you do a
2 quantitative comparison, and that's all there is. There
3 isn't a model.

4 Some things, for example, like transportation,
5 there have been several EISs ablate that have basically
6 relied on the same models, such as RISKIND and RADTRAN and
7 Interline and Highway, and we'll do the same darn thing. You
8 know, we'll pick up and utilize models that, you know, have
9 been utilized in the past, and they've worked, and they're,
10 you know, fairly standard from a NEPA perspective.

11 KNOPMAN: Knopman, Board.

12 So there are some models--you've already made some
13 selections there in certain cases?

14 DIXON: In certain cases, yes.

15 KNOPMAN: And they seem to have to do mostly with
16 transportation. Would it apply to--

17 DIXON: Well, I'll give you another one we've selected.
18 We're going to use TSPA for--

19 KNOPMAN: Okay.

20 DIXON: We're going to pull from example--

21 KNOPMAN: Right.

22 DIXON: --the science out of the house and use all their
23 TSPA work as appropriate.

24 KNOPMAN: Okay.

25 DIXON: And we'll have them do TSPA analysis also for

1 us--well, we'll do them in part through Jason and part
2 through Steve Brocoum's people for hazardous constituents.

3 KNOPMAN: Okay.

4 DIXON: So we'll rely very largely on a lot of the TSPA
5 database that's there, which relies on numerous models, as
6 you know, in building its case.

7 KNOPMAN: Okay. Now, what do you do about your no-
8 action alternative in terms of what do you rely on in the way
9 of data there?

10 DIXON: What we've been looking at, as far as models go,
11 NEPA for no action. Data has been received from the various
12 DOE sites that would be sending us waste, and we have, like I
13 mentioned earlier, spent a considerable number of hours in
14 NRC libraries going through the environmental reports and so
15 forth from, you know, individual utility sites around the
16 country.

17 KNOPMAN: So are there NRC models for kind of failures
18 of facilities at nuclear power sites, utility sites?

19 DIXON: What I would like to suggest, and really this
20 was Lake's idea--he's going, oh, what are you going to say?
21 Okay.

22 BARRETT: Be sure it's right, Wendy.

23 DIXON: Was that if you're interested in the no-action
24 alternative presentation, we could put that on the agenda for
25 our TRB session and walk you through it. I mean, it's a

1 presentation in itself.

2 KNOPMAN: Well, we probably will be.

3 COHON: All right. Colleagues, this will go on forever
4 if we don't show some discipline. Paul Craig has the last
5 question.

6 DIXON: Make it one I can answer.

7 CRAIG: I think it was really covered by Debra's, but
8 since--the issue of what happens for the first 100 years at
9 these individual reactor sites is of considerable importance.
10 Ten thousand years is interesting, too, but I am--I would
11 really at some point like to understand how you are going to
12 look at the detailed deterioration of reactor storage at each
13 one of the many sites. So the methodology that you're going
14 to use for approaching that problem would be of a great deal
15 of interest. I really would like to hear the briefing on
16 that.

17 DIXON: We will leave you with a cliffhanger and promise
18 to give that to you in the next session.

19 CRAIG: Good.

20 COHON: Ms. Dixon, thank you.

21 DIXON: Thank you.

22 COHON: Will you be able to stay for the public comment
23 period? Will you be able to stay?

24 DIXON: Yes, I will, not a problem.

25 COHON: Okay. There's one gentleman I know who has been

1 waiting patiently to ask his question. I guess he prefers to
2 do it now than wait to the public comment period.

3 MCGHEE: I'm Earl McGhee. I live in Amargosa Valley.
4 Mr. Barrett and Wendy, I'm sure that you might recall, and
5 some things are brought up here on that EIS, I take exception
6 with the EIS I have on the test site, and I take exception
7 with the Nye County Government. You people are all good
8 people, and you're doing a good job. But keep one thing in
9 mind, all the people in this valley are not substandard.
10 They don't live in substandard. Substandard is in the eyes
11 of the beholder. And we pay our way, where in your EIS, why
12 the Nye County has been subsidizing this. Well, I'm paying
13 taxes, and I'm not receiving the services that I should be
14 receiving.

15 So, and when it comes to talking about your tunnel,
16 I believe Mr. Barrett can remember when I asked the question,
17 are you going to scrub that atmosphere bumped out of the
18 tunnel? And these things have all been brought up at the one
19 meeting in Beatty in 1995. I hope that you prepare a good
20 EIS, but keep in mind that maybe people are poor. Maybe
21 they're less fortunate, but they are a part of humanity and
22 should be considered and the environment here, also. And I
23 thank you for letting me state that.

24 DIXON: We agree wholeheartedly.

25 COHON: Thank you. We will now take a break and

1 reconvene at 10 after 4:00, by my watch, for the last part of
2 the program.

3 (Whereupon, a break was taken.)

4 COHON: If we could take our seats. Tear yourselves
5 away from the mountains.

6 Mike Carroll, professional staff member of the
7 Board, is going to make a presentation on the Board's
8 strategic plan. I will then come back after Mike and
9 moderate the public comment period.

10 Mike?

11 CARROLL: Thank you. I'm Mike Carroll, and I'm the
12 Director of Administration at the Nuclear Waste Technical
13 Review Board.

14 What I'd like to do today, if I could, is just
15 provide a thumbnail sketch, or a basic overview, of the Act,
16 the Government Performance and Results Act, and then present
17 the Board's draft mission statement and general goals, as
18 required in the strategic plan.

19 The Government Performance and Results Act of 1993
20 was enacted to provide for the establishment of strategic
21 planning and performance measurement in the Federal
22 Government.

23 Now, you might be curious as to why if the law was
24 enacted in '93, why is the Board conducting this public
25 consultation now. Well, there's two reasons for that:

1 First, government wide, Congress realized this was going to
2 be a complex law to enact and gave all federal agencies until
3 September of this year to submit their strategic plans. So
4 there has been a long implementation phase with pilot
5 projects and things like that.

6 Specific to the Board, because of our relatively
7 small size, we were under the impression, as was our budget
8 examiner on the budget side of OMB, that we were exempt from
9 the process. Well, the management side didn't feel that way.
10 The management side of OMB notified us in November that we
11 are, in fact, not exempt from the process, and so we're sort
12 of doing this in a several month period, where other agencies
13 had several years to enact it.

14 It was sponsored by Senator Roth and had partisan
15 support, and also was endorsed by the President, the Vice
16 President. They have their own service-related project going
17 called the National Performance Review, and they dovetail
18 very nicely to increase service and accountability.

19 It was enacted basically for two things: Number
20 one, to provide accountability to the public; you know,
21 federal accountability to the public for the job that we're
22 doing, and also to increase the confidence that the public
23 has in the Federal Government's ability to do its job.

24 Now, a critical part of the Act requires
25 consultation in the development of the strategic plan. It

1 requires consultation with the Congress, the public, and
2 other government agencies. We're here today to consult with
3 the public, and hopefully, either today or in the near
4 future, we'll get some very good feedback. The Congress,
5 we're in the process right now of consulting with them to get
6 their feedback on our strategic plan, and other government
7 agencies involved in our program; obviously, that's the
8 Department of Energy, the Nuclear Regulatory Commission, the
9 EPA and the Department of Transportation. We all have a
10 piece of this program, and we'll be consulting with all of
11 those before we submit our final strategic plan.

12 John Koskanin, who last year in February testified
13 before Congress, he at the time was the Deputy Director for
14 Management at the Office of Management and Budget, and the
15 OMB has the overall responsibility for the implementation of
16 GPRA in the executive branch. And he basically boiled the
17 entire Act down to three very simple questions: What are you
18 doing, how are you doing, and how do you know. And that's
19 pretty much a very concise way of implementing GPRA. What
20 are you doing as your mission? Are you doing what you're
21 supposed to be doing? Are you doing what Congress intended
22 you to? How are you doing? You know, what impact do you
23 have on the public? What are the results of your activities?
24 And lastly, how do you know? How did you get that data?
25 How did you get that customer satisfaction data? And those

1 are the three questions every federal agency needs to ask
2 themselves as they go through this process.

3 GPRA focuses on outcomes. Now, in the past,
4 historically, the government focused on outputs; how many
5 people were vaccinated, how many people were trained, that
6 sort of thing. Well, that's no longer the focus. The focus
7 now is outcomes. Did public health improve because of the
8 vaccinations? Did more people get jobs because of job
9 training programs? So there's been a fundamental shift in
10 how the Federal Government is going to be graded on how they
11 do their job. What impact did you have on the public?

12 It also focuses on customer satisfaction and
13 quality. I'm sure if you asked somebody in the Federal
14 Government maybe 10, 15 years ago, you know, who are your
15 customers? Well, you know, I don't have any customers. The
16 IRS is finding that out now, that they have customers, and
17 they need to improve service, and I'm sure that they will.
18 And that will be part of the process for all of us.

19 There are several steps to implementing GPRA. The
20 entire thing, the entire--the foundation for the entire
21 implementation of the law is a mission statement, what are
22 you doing, and everything else flows from that.

23 The main document in the GPRA is the strategic
24 plan. The strategic plan is a five-year document, five years
25 into the future, so it requires some long-term thinking.

1 Included in the strategic plan is, obviously, your
2 comprehensive mission statement, and then your general goals
3 and objectives, what you hope to achieve over the next five
4 years.

5 In addition to that, you've got key external
6 factors. Those are factors that you have no control over,
7 but which could have an impact on your ability to do your
8 job, to carry out your goals and objectives. And you also
9 have to address in the strategic plan how you intend to
10 accomplish your goals and objectives.

11 GPRA, obviously, is a long-term process. It forces
12 us all to think in long term, out into the future, rather
13 than just the next fiscal year or what's happening now, which
14 is a bit of a change. It requires a lot of planning, a lot
15 of consultation, which may or may not have been there in the
16 past.

17 And one of the key components, I think one of the
18 most important ones, is that it provides measurement, you
19 know, a vehicle to measure your performance, and that leads
20 to accountability. If we can measure our performance, we
21 report that to the public, and they can say you did or didn't
22 do your job, and we'd have to explain why we didn't do our
23 job, if, in fact, that was the case.

24 Now what I would like to do is present the Board's
25 draft mission statement and then general goals.

1 The mission statement, as I said earlier, many
2 times it's established by Congress. So the first thing you
3 do is go back and look at your enabling legislation and see
4 if what you're doing is applicable to your enabling
5 legislation. We're a relatively new organization, so we feel
6 it's totally appropriate, and that's where we took our
7 mission statement from.

8 "The Board's mission, established in the Nuclear
9 Waste Policy Amendments Act of 1987, Public Law 100-203, is
10 to evaluate the technical and scientific validity of the
11 activities undertaken by the Secretary of Energy, including
12 the characterization of the Yucca Mountain site, and
13 packaging and transportation of spent nuclear fuel and high-
14 level radioactive waste." That's how Congress sees our
15 mission, and that's how we see our mission as well.

16 Now, as I said earlier, another key component of
17 the strategic plan are general goals. These are your overall
18 goals that you hope to accomplish in a minimum of the next
19 five years.

20 And what we did at the Board, we sort of broke it
21 into two steps. We saw a national goal that I think we all
22 share in, all the participants, and then we broke it down
23 specifically. Based on the national goal, we broke it down
24 to two specific Board goals.

25 The national goal, if you will, "The overarching

1 goal of national waste policy established by Congress is to
2 ensure that civilian spent fuel and high-level radioactive
3 waste are safely packaged, transported to, and disposed of in
4 a permanent repository. The Administration, state and local
5 governments, and the public all have important parts to play
6 in achieving a safe waste management system."

7 And this is a continuation of it: "Federal
8 agencies with important, often crosscutting, roles include
9 the Department of Energy, the Nuclear Regulatory Commission,
10 the Environmental Protection Agency, the DOT, and the Board."
11 As I mentioned earlier, we all have a role in this overall
12 goal.

13 And then as a key contributor to this national
14 waste management effort, the Board has established two
15 general goals. They are: "To conduct an ongoing technical
16 and scientific evaluation of the validity of the Secretary of
17 Energy's activities related to site characterization and
18 transportation and packaging of spent fuel and high-level
19 waste, and, to effectively and in a timely manner convey its
20 findings and recommendations to the Secretary and Congress.
21 These findings and recommendations will be made available to
22 the public."

23 So that's the Board's, as part of its strategic
24 plan, its mission and its goals.

25 Now, what I would like to do to frame the

1 discussion for the rest of the afternoon, is put up two
2 questions that we'd like you to consider and then to react to
3 them, or you can react to any part of it.

4 Basically, what is the Board's role? I mean, we've
5 defined our role, as you've just seen, and we'd be interested
6 to hear what the public thinks of our role or what our role
7 should be.

8 And, also, in developing our goals in the strategic
9 plan, what should the Board's goals and objectives be for the
10 next five years?

11 So based on that, those two question, that's how
12 we'd like to frame the discussion for the rest of the day.

13 I'd also like to say that I am the official point
14 of contact for the Board on the submission of it to the OMB
15 and Congress, and also to incorporate any feedback from the
16 crosscutting agencies, the public and the Congress. So
17 there's my voice number, my fax number, my E-mail number, and
18 there are copies for the public available in the back. There
19 are also copies of my overheads, and a copy of the strategic
20 plan is available on our Web site. So you can have access to
21 the information and then communicate with me any way you'd
22 like, and we would appreciate some input either here at this
23 meeting or later on, over the next several weeks, before we
24 get this in.

25 So I turn it back over to the chairman.

1 COHON: Thank you very much, Mike.

2 Linda, could I have that sign-up sheet, if you'd
3 bring it up here?

4 Some people have signed up to make comment or to
5 ask questions. Let me ask, though--and you will all be
6 called on, and you will be given plenty of time to say what
7 you like. Before I call on you, though, in order, let me ask
8 if there are any--if there's anybody in the audience who
9 would like to comment specifically on our strategic plan,
10 responding either to the questions that Mike put up here or
11 anything else related to the plan?

12 Mrs. Devlin?

13 DEVLIN: Yeah, Mike, what's your address?

14 CARROLL: I'm sorry?

15 DEVLIN: You don't have an address.

16 COHON: People still do write, Mike.

17 DEVLIN: I write, and I have friends that write.

18 CARROLL: My apologies. I'll provide that before the
19 day is ended.

20 COHON: It's available on the back.

21 DEVLIN: We don't have Internet in Pahrump.

22 COHON: Okay. That's a fair point.

23 CARROLL: Yes, it is.

24 COHON: Would anybody else like to comment on the
25 strategic plan? Well, we know that it was a lot to digest,

1 and you'll want to think about it carefully before you send
2 us your comments. Please do. We genuinely would like to
3 hear what you have to say.

4 Now, we'll turn to open comment and discussion.
5 Bill Vasconi, I believe.

6 VASCONI: That's close enough, partner.

7 COHON: Okay. If you could identify yourself again,
8 though?

9 VASCONI: Well, I wear many good hats. This one happens
10 to be Levi, but today I'm representing myself as a concerned
11 citizen. Maybe later on I'll like to talk as a head of
12 something or a representative of something, if that's all
13 right with you?

14 COHON: In any capacity you would like, but if you could
15 just state your name again?

16 VASCONI: Bill Vasconi.

17 COHON: Vasconi.

18 VASCONI: It's Irish.

19 COHON: Good.

20 VASCONI: I heard a comment made. I'm going to comment
21 on your reports, but I heard a comment made as I was coming
22 in about how desolate this area was. Well, I came here in
23 '64, and it's built up quite a bit. This is probably the
24 most suits Amargosa Valley has seen since its existence.

25 The comments I would like to make are this: Number

1 one, Nye County, and it's a welcome concern. Don't
2 accelerate the studies because it's popular or you're based
3 on a time frame. That's not fair. Health and safety is a
4 concern; health and safety to workers, health and safety to
5 the people of Amargosa Valley, indeed the State of Nevada.

6 You heard the terminology keep it open for
7 ventilation. You know, once upon a time, when this all
8 started 13 years ago, if we would have went through the same
9 process with Boulder Dam, there would still have been water
10 floating down on Colorado. Anyway, keeping it open, once
11 upon a time what we were going to do was go in there and
12 gunnite it, concrete it, put the vegetation back to the
13 natural state, and put a granite stone on top of it. In case
14 somebody found it, they would know what was buried there
15 because it was going to be written in 40 different languages.

16 It's a lot more acceptable, not only to the people
17 in Nevada, but to the nation, to keep it open, to ventilate
18 it, to have temperature probes, to have water probes, to have
19 radiation capabilities with instrumentation. What's wrong
20 with the word stewardship instead of permanent? Ten thousand
21 years? Well, I've got a little more faith in the educational
22 system than most folks do I guess. I think in a thousand
23 years you're going to tell us whether we made a mistake. I
24 think in a thousand years, because of our educational system,
25 some of that may even be an asset versus a liability.

1 Some folks say no alternative. How ridiculous;
2 it's almost ludicrous. What do we have now, 115 nuclear
3 submarines? They're dropping the spent fuel rods off in
4 Maine, two places in Virginia, Washington, Idaho, now Hawaii.
5 Leave it where it's at. No, that's no alternative. Fifteen
6 surface vessels, leave it where it's at? No. Sixty-one
7 reactors in universities? No, that's not unheard of, leave
8 it where it's at. A hundred and six reactors, commercial
9 reactors in the United States, 71 sites you're storing it at
10 in 40 different states, that's no alternative. You're not
11 going to be able to find it in 10,000 years. Consolidation
12 is the way to go.

13 Next one. Variation design with the end results of
14 today's scientific and technological expertise. Well, we
15 pretty well covered that with education. The no-action
16 alternative, we've covered that.

17 One more thing, and I'll let somebody else get up
18 to the mike, and I reserve the right to speak later. You're
19 all talking about ways to ship it. Ten of the states have
20 given permission to use a portion of their state as the route
21 they accept. Well, apparently, Nevada hasn't given anybody a
22 route to accept. Let's talk about the State of Nevada.

23 The geographical center in the State of Nevada is a
24 place called Austin. Get one of your maps out one of these
25 days when you get a chance and take a look at it. Carlin has

1 got two railroads going through the top of it. You can leave
2 Carlin, come down that Smokey Valley, go between Eureka and
3 Austin. Come down through the, excuse me, the monitors, hit
4 Tonopah and drop in around the side and come back onto the
5 test site. I know it's one of those ones that's being looked
6 at.

7 But the other two aren't acceptable. Number one,
8 Clark County. Hey, Clark County is as big as New Hampshire,
9 as big as the state of New Hampshire. Do you realize that
10 nine of the original 13 states would fit inside Nevada? Do
11 you realize that Delaware, Rhode Island, Connecticut and
12 Massachusetts would fit into Nye County? Nevada is now the
13 second largest producer of gold, and gold and silver we've
14 got a bunch of--second largest producer. If Nevada was a
15 country, it would be the second largest producer of gold.
16 Why not utilize that railroad system after the nuclear waste
17 has been taken care of to foster industries opening up the
18 interior of the state of Nevada?

19 Again, I reserve the right to talk a little bit
20 later, too, but I do appreciate you listening to me, and
21 thank you.

22 COHON: We appreciate your comments. Thank you, Mr.
23 Vasconi.

24 Sally Devlin? Could we make that lower for Mrs.
25 Devlin?

1 DEVLIN: I didn't grow.

2 COHON: I know.

3 DEVLIN: That's not fair.

4 COHON: Thank you.

5 DEVLIN: Thank you very much.

6 All right. My name is Sally Devlin, and I want to
7 welcome you here. And I see so many familiar faces and many
8 new faces. And I used to stand up here and say it is all in
9 Nye County, and I am from Pahrump, Nye County, and we're even
10 on all the maps now, except that the road, if someone asked
11 me about it today, the road going by Death Valley Junction
12 has no name. It goes right by my house and takes you right
13 back to Pahrump. Anybody at Days Inn or Saddle West--that
14 saves you 58 miles or 38 miles.

15 So again, welcome, and I'm delighted that we
16 provided this beautiful summary and our beautiful, dry, non-
17 windy desert weather for you, and I hope it will continue
18 tomorrow. It's supposed to.

19 But I have, of course, questions for the Board, and
20 I tried them out on Russ Dyer, and he said go ahead. And the
21 first thing--

22 COHON: He can answer them, too.

23 DEVLIN: No, he can't.

24 COHON: Oh, okay.

25 DEVLIN: No, everybody has got to get in on this.

1 My first question is, again, from years of
2 experience, and that is, is there anybody on the Board that
3 has industrial turnaround experience and who is--or else who
4 is a supervisor in the DOE? The reason that I say that is we
5 are going to have projects in the very near future that have
6 never been done before, Navy canisterization and a few dozen
7 other things.

8 And I strongly feel--I am a corporate person. I
9 own my own Nevada corporation for 23 years, and I have a
10 tremendous business background. And I know when I didn't
11 know something, I went to people that did. So I feel very
12 strongly that everything has been science, and I don't feel
13 that anything has been industry. So I would suggest
14 somewhere along the line that this be looked into.

15 Now, the second thing is, again, I have a problem
16 with, and that is I am serving and have served and attended
17 every meeting in the world, but I'm on the NRAM committees,
18 and we are doing the low-level waste and the water studies.
19 And I said I want definitions of what are low-level mixed
20 waste, transuranic and high-level waste? And guess who got
21 four or five on each one, including DOE's and others, and
22 what are they using and so on.

23 So this came up when I received my fourth INEL EIS,
24 and I think it must have been the ROD one. Anyway, the guy
25 says that we have 5,500 metric tons, but we want 300 to 425

1 110,000-pound canisters.

2 And I get hysterical, and I call Washington, and I
3 talk to Captain Carlson. And I said, for 5,500 metric tons--
4 and, of course, this was just after Dan Ryan was here talking
5 about the canisterization. And Judy and David and I were the
6 only ones there. This was downtown in Las Vegas. And he's
7 telling us what goes in, how much, the cost, about three-to-
8 five hundred thousand apiece and so on. And I said, "Why in
9 the world for 5,500 metric tons, which is nothing, do you
10 want three to five hundred canisters, or 425?" And he said,
11 "Because we're going to put mixed waste in with it." And I
12 said, "Well, what, sir, is in the mixed waste?" "It is
13 classified."

14 You don't classify it with me, not at all. So this
15 has got to be attended to. You cannot be putting things--and
16 we're learning more and more about this classification of
17 waste, the leakage, the different terminology. We just had
18 the leaks from Fernald. We had all kinds of things. There
19 is so much new science out there, that it is, to me, just
20 shocking that local groups, whatever, that are doing things.
21 Fernald just cleaned up what was a waste thing, and they
22 cleaned up 90 per cent of it; 100 per cent was to come here.

23 Now, we're talking enormous numbers. I know you
24 are only Yucca Mountain, and you know my contention that
25 Yucca Mountain and the test site are one. I don't know how

1 you can differentiate it.

2 And I'll get to--where is Dr. Dixon? Wendy, where
3 are you?

4 COHON: She's behind you.

5 DEVLIN: Oh, good. I love your new hair. I didn't
6 recognize you.

7 Anyway, and I have to say this: I met Wendy many
8 years ago when John Cantlon was the head, and she was going
9 to save the Desert Tortoise and everybody with her life. And
10 John said, "Have you talked to the hydrologists and
11 thermologists and so on?" And, of course, then she went to
12 OSHA. And I thank her for her report, and I say it because,
13 again, it was something I read five years ago, and it said,
14 they're not going to be one repository, they're going to be
15 two, and you can't close the first one until the second one
16 is filled.

17 Now, that was in my article, which has gone
18 national, and the mixed waste has gone national. And I am
19 hysterical about it because as a stakeholder, you know my
20 position. I have nothing. The only thing I could do, like
21 those who are against it, is write a letter and the Feds have
22 to answer it. I was with the three attorneys who did that.

23 So we, as the people, are not even concerned. Why
24 is it I'm the only one from Pahrump? Dale is at another
25 meeting, this one's there, and so on and so forth. Why

1 aren't there 10 million stakeholders? And the reason is, it
2 costs a great deal of money to go to these. It costs hotel
3 rooms, food, you name it and what have you, and beautiful
4 clothes and everything else.

5 And I read the things you send me, and I study
6 them, and I ask the questions, and I make the phone calls
7 because I have the time and the interest.

8 But there are not many Sallys, and I'm going to try
9 and organize 44 Sally groups because we have the same
10 vestiture in all 44 states. And so I would like these
11 questions answered.

12 Wendy said something about BLM. They did a Forest
13 Service survey with 11 alternatives on 95 to 160, and I read
14 it, and I said, this is the first report I ever saw that gave
15 you 11 alternatives for the public on roads, recreation and
16 what have you. But why don't you tell me where your
17 demarkation line is between the Forest Service land and the
18 BLM land, and why are you not concerned with emergency
19 preparedness because if anything happens on 95, you've got to
20 go to Pahrump to get it taken care of. Anything happens in
21 Amargosa, you've got to go to Pahrump to get it taken care
22 of.

23 We now have EMTs and PMT, a singular. But you're
24 hearing what I'm saying. This has been going on for 15
25 years. I've only been involved in five. But I want to hear

1 from Wendy Dixon that the Forest Service and the BLM and this
2 one and that one have gotten together and talked about
3 things.

4 The letter I got back from the Forest Service said,
5 thank you very much for your letter. We never thought of
6 that. Now, can anybody in this room tell me where the
7 demarkation lines are? Where's the demarkation line from the
8 Air Force? Where's the demarkation line from Lincoln?

9 So we've been into all these questions, and they
10 are questions, and they should be answered. And I, as a
11 stakeholder, will continue to ask them, if you let me in and
12 you don't shoot me, because they need to be answered. Those
13 are three major things. I want to hear what the legal
14 definition of high-level waste is, and then I'm going to go
15 to others and find out what transuranic and all the rest
16 because these are a mess.

17 The other thing is, again, about what executive
18 turnaround experience has got to be had in this group.

19 COHON: Okay.

20 DEVLIN: And the third thing, again, is with Forest
21 Service, BLM, where are they, how are they, how do they
22 communicate, or do they communicate?

23 COHON: All right. Let's try answering these. Why
24 don't you stay at the mike because it might require some
25 interaction here.

1 DEVLIN: Good.

2 COHON: On the first one, when you say industrial
3 turnaround expert, do you actually mean someone who takes
4 over troubled companies and turns them into profitable
5 companies?

6 DEVLIN: Exactly, and who is capable of handling new
7 situations? What do we know about the waste is the big major
8 question.

9 COHON: Right.

10 DEVLIN: Who has done it? There are 10--I read
11 Scientific American and everything else in the world that's
12 sent to me. There are so many new processes and new this and
13 new that.

14 COHON: I understand.

15 DEVLIN: And it's got to go.

16 COHON: Well, I'm pretty sure we don't have any
17 industrial turnaround experts. Had we had them, I would have
18 asked them for money by now. And so I would smelled them
19 out. So we don't have any of those.

20 DEVLIN: Do you think you need them?

21 COHON: But what you really mean--

22 DEVLIN: It's a question.

23 COHON: Well, not what you really mean, what I take from
24 what you're suggesting, is that we have people with minds
25 creative and nimble enough to deal with new areas, things

1 that they may not have been involved with before. Indeed,
2 some of the aspects of Yucca Mountain, its design, its
3 operations, are things we've not encountered before in just
4 that form. Do we have people capable of dealing with that?
5 The answer to that is decidedly yes. I've seen my colleagues
6 at work.

7 We also don't hesitate to bring in consultants in
8 areas that we don't feel are fully covered by the Board
9 members. So, for example, at our last meeting in October--
10 who's the professor from MIT who joined us?

11 SPEAKER: Carl Peterson.

12 COHON: Carl Peterson, who I guess one would call a
13 mining expert, but he's hard to categorize because he's got
14 all sorts of really wonderful ideas "out of the box," if you
15 will. He was very stimulating to us and I think to DOE as
16 well.

17 So in terms of the Board and its ability to deal
18 with these new ideas, I don't think you should be concerned.
19 That's not to say we shouldn't all be concerned about
20 whether a one-of-a-kind operation like the repository will be
21 designed properly. We all need to be concerned about that.

22 DEVLIN: Well, you heard what I said about the INEL
23 stuff. That's a whole new project. You don't know what's in
24 it. How do you handle classified stuff that you're going to
25 put in something, maybe, and ship it where? Is it 1,400

1 miles? Well, come on.

2 COHON: Right, but there your issue--your concern is
3 classification, the classified nature of the information?

4 DEVLIN: Well, it's in the canisters.

5 COHON: No, but is that your concern in that case?

6 DEVLIN: Well, of course, it is.

7 COHON: Okay.

8 DEVLIN: You don't say declassified to me.

9 COHON: Okay. No, Mrs. Devlin, there's a distinction
10 here between concern about the classified nature of the
11 information and the expertise of the people evaluating it.
12 I'm trying to keep the two as just separate.

13 We have access to information that we need. That's
14 not been a problem.

15 DEVLIN: You have it, the public doesn't. How do you
16 keep faith of the public? How do you keep sabotaging? You
17 never talk about these things. Have you got--I gave it to
18 the Board last time, the sabotage on these things. This is
19 all major questions, and you're saying you've got the
20 information, the public doesn't.

21 COHON: No, no, no, I didn't say that.

22 DEVLIN: Well, that's what you inferred. That's a good
23 way.

24 COHON: Wait a minute, Mrs. Devlin. You're too sharp
25 for me. You're getting me all confused.

1 DEVLIN: Right, yeah.

2 COHON: The first point is, the Board does have the
3 adequate backgrounds collectively, we believe, and the
4 President believes, to deal with the issues that come up at
5 Yucca Mountain. There are all sorts of other issues related
6 to nuclear waste, some of them do no bear directly on Yucca
7 Mountain, about which you have a fair point or fair
8 questions. And keep conveying them to the right people. I
9 hate to say this, but when it comes to things like the
10 facility in Idaho, we're not the right folks. That's not our
11 mission, as you saw it.

12 DEVLIN: But it's going to go to Yucca Mountain. That
13 is your department, I'm sorry.

14 COHON: Any waste that is intended for Yucca Mountain is
15 data that we have access to. Do you have access to it? I
16 don't know. Does the public have access to all the
17 information that we have access to on potential waste
18 streams?

19 DEVLIN: Well, if you remember, two years ago October, I
20 read the Congressional report to all the brilliant scientists
21 who were working on the canister. And I said--and I read it.
22 I said to John, "You say it." He couldn't say it. So he
23 said, "You say it." So I read it to you all, that the 10 per
24 cent DOD stuff could go in the rock.

25 COHON: Okay.

1 DEVLIN: All right. And everybody went you know what,
2 and we didn't know.

3 COHON: Who knows about the classified nature or not?
4 Russ?

5 DEVLIN: No hiding.

6 COHON: Wait a minute, wait a minute. Hang on.

7 DEVLIN: Anybody, anybody.

8 COHON: John Arendt? John? We know so much, we're
9 having trouble deciding who should talk. John Arendt?

10 ARENDDT: I think we ought to have Carl kind of summarize
11 the overall--

12 COHON: Carl Di Bella, a member of the staff of the
13 Board.

14 DEVLIN: Now, he's been around a long time.

15 COHON: Yes, he has.

16 DEVLIN: And we're old friends, and he will tell the
17 truth sometimes.

18 COHON: Okay.

19 DEVLIN: Go ahead.

20 COHON: You're on the spot now, Carl.

21 DI BELLA: I'll try anyway. This is Carl Di Bella,
22 Board Staff.

23 I'm not sure what you're referring to with the
24 5,500 tons, but there are 65 tons, and there will be 65
25 metric tons of spent naval fuel that is destined to come to

1 the repository from INEL, and that would require 300
2 containers. And, yes, there is some information about that
3 that is classified and not available to the public.

4 The Navy, I think, has been gradually declassifying
5 information about that material, but I'm sure there will be
6 some information that never becomes available to the public.
7 I'm not quite sure what that will be, but it will have to
8 remain classified for national security purposes. That
9 information is available to one member of the Board right
10 now, John Arendt, who has security clearance, and one member
11 of the staff, which is myself, which has the appropriate
12 security clearance for that. I believe an additional Board
13 member is gaining security clearance.

14 Now, can I handle any other questions?

15 COHON: Carl, yeah, while you're up there, will you
16 handle the waste definition question that Mrs. Devlin has?

17 DI BELLA: The definition of high-level waste is in the
18 law. It's also in the regulations that have been set by the
19 Nuclear Regulatory Commission of what high-level waste is,
20 and it is specifically material that is remaining from
21 reprocessing spent nuclear fuel, whether that fuel is a
22 commercial fuel or whether it is spent fuel produced for
23 national defense purposes. But the high-level waste is the
24 waste that's left over from processing that material.

25 DEVLIN: My confusion comes from the definition again,

1 and that is either 225 or 228 fusion bomb drops at the test
2 site, and the rest were fission. Now, fusion is considered
3 low-level waste. Fission is considered high-level waste.

4 I just read it. I'm on the committee, guys. I'll
5 show it to you in my books.

6 DI BELLA: If you're talking about waste that are at the
7 national test site, I don't think any of that waste comes to
8 Yucca Mountain. I may be wrong, though.

9 DEVLIN: It's already buried, you're absolutely right.
10 By definition--by definition, I--

11 DI BELLA: Coming to a mine geologic repository at Yucca
12 Mountain is what I mean.

13 DEVLIN: Well, I don't think it will come in, but you
14 see confusion, and that is--

15 DI BELLA: Yeah, it is confusing.

16 DEVLIN: It is; all the levels of waste are confusing.
17 And I will assign you, because you're an old buddy, to send
18 me or else get a committee together, or something that really
19 defines the different levels of waste. We do not know, and I
20 don't believe anybody, about what goes in these things
21 because Nevada doesn't inspect.

22 COHON: Mrs. Devlin, we will be happy to send you what
23 we have.

24 DEVLIN: Every bit of it. I want the laws. I want how
25 they're applied and so on.

1 DI BELLA: We can do that, and we will do that.

2 COHON: But with the caveat in advance that you will
3 still be confused after you read it because it is confusing.

4 DEVLIN: I am more confused. It is terribly confusing.

5 COHON: Right, and it's not--

6 DEVLIN: And especially TRU. And I know, Carl, when I
7 ask these questions, it is because you are laughing about it
8 being confusing.

9 COHON: No.

10 DEVLIN: It should not be confusing to the public.

11 COHON: I don't think--

12 DEVLIN: We should have a line, a demarkation line, from
13 this to transuranic to low-level to mixed waste. What are
14 you going--

15 COHON: Were that it existed.

16 DEVLIN: Yeah, okay, we need it.

17 COHON: Now, just your last question was cooperation
18 with BLM and the Forest Service.

19 Mrs. Dixon, could you--are they cooperating with
20 you?

21 DEVLIN: With each other.

22 DIXON: With respect to the EIS that we're working on,
23 there are entities that are out there that we will or have
24 consulted with, which would include the BLM, the National
25 Park Service and the U.S. Fish & Wildlife Service and the Air

1 Force and the Department of Energy over on the other side of
2 the house, and the list goes on and on. So there is
3 consultations as it relates to this individual Environmental
4 Impact Statement as part of the NEPA process that's going on.

5 COHON: And you find them cooperative?

6 DEVLIN: Wait, don't go away. You're talking now--when
7 he mentioned--when Bill mentioned the size of this area,
8 these sizes are enormous, and it isn't something you walk
9 down the path. You're talking about thousands upon thousands
10 of square miles, and this is what bothers me. I could tell
11 Bill I saw the Carlin Railroad Report, and that was an old
12 mining thing. The report cost the taxpayers a quarter of a
13 million. It was a beautiful report with all of the
14 topography and so on. It was wonderful. And it said because
15 how high do you have to go? You went over Peaks 1,300--or
16 13,000 feet, or whatever, and they're dangerous, and they're
17 this and that. And that's all got to be considered.

18 I see on the map, you know, you're looking at
19 Pahrump again. That's how I got into this. Over my dead
20 body would you bring the railroad through that or the trucks.
21 I talk about all the transportation because 95 is a 9
22 hazard. How many times do I have to say it? Pahrump is a 7
23 hazard. You don't change those things. There's no emergency
24 preparedness. There's no nothing, and you're talking 30,000
25 people within 50 miles. You're talking--now we enlarged the

1 prison to 3,500 prisoners and 300 people taking care of them.
2 They can't be let out on 95.

3 So you're talking all kinds of things, and I
4 realize what else is going on in the country. But what I
5 rely on this Board for is to allay my fears and answer
6 questions, what is the waste? How is it this? Why is it
7 classified?

8 COHON: Right, but--

9 DEVLIN: Sabotage, all the rest of the stuff that people
10 ask me and I bring to you because you are the proper forum.

11 COHON: Indeed.

12 DEVLIN: I don't have any answer for that stuff.

13 COHON: Right, you do not have to explain or defend why
14 it is you're asking these questions. I want to make sure
15 we're answering the right questions.

16 We hear that DOE is getting cooperation by the
17 relevant federal agencies. We will give you whatever we can
18 on your other questions, but please keep in mind, some of
19 these answers will still contain confusion because it is
20 confusing.

21 DEVLIN: Of course it is, and I'm delighted that you see
22 that--

23 COHON: Good.

24 DEVLIN: --because I haven't seen any straight line, and
25 that is delightful. You've got to remain open on all of this

1 stuff--

2 COHON: We'll try.

3 DEVLIN: --because it can change tomorrow, and maybe
4 someone will come up with a pill so we don't need gasoline or
5 it dissolves all the nuclear waste. And I love that idea,
6 don't you?

7 COHON: Thank you, Mrs. Devlin.

8 DEVLIN: Thank you.

9 COHON: Judy Treichel?

10 TREICHEL: Well, I got thrown a curve. I was going to
11 come in here and give you just glowing answers in the
12 affirmative to the three questions that were in your press
13 release because I promised Dan Bullen I would do that. And
14 now you've asked two new questions, and we didn't have a
15 chance to see the report, and so I'm again singing the old
16 song about we didn't get the stuff in time. And there was
17 probably glitches that had that happen.

18 But I think rather than going into the three
19 questions that you sent out on the press release, I'll just
20 wait and either mail or call or fax or E-Mail, or something,
21 the whole works.

22 COHON: That's fine. And we appreciate you thinking
23 about those questions, and if there--

24 TREICHEL: I did. I was going to be great, but I'll do
25 it--

1 COHON: Oh, gee, well--

2 TREICHEL: I'll do it the other way.

3 COHON: Okay. Thank you.

4 TREICHEL: In responding to the presentation that was
5 just given concerning your GPRA charge, which I think is very
6 interesting--number one, I'll already give you good marks on
7 this because I've never even heard about it, and it happened
8 in 1993, until now. So I would say that the agencies that
9 we're dealing with on a very frequent basis at least aren't
10 asking us. They may be doing some internal forms and filling
11 out a report card, but they're certainly not checking it with
12 us, and I thank you for doing that.

13 In your mission, which I know I've seen for a long,
14 long time, I believe that the lousy job that's being done on
15 an EIS for this project goes right to your mission where you
16 are evaluating the technical and scientific validity of the
17 activities.

18 And I don't believe that the EIS that the
19 presentation was made on today and that we've been involved
20 with for so long is anywhere close to what an EIS is all
21 about. An EIS, the whole idea of that came about the
22 evaluation of various alternatives to decide whether or not
23 you do an activity.

24 Wendy used a very nice word, which was
25 streamlining, saying that it was streamlined by Congress so

1 that you didn't have to evaluate the need for the repository.
2 Well, that's what an EIS is all about. So once that
3 happened and other things happened that didn't have to be
4 considered, the whole thing, as far as I'm concerned, became
5 invalid. But we're working under that.

6 I also think it's a real problem for the public
7 where there was a tremendous hiatus between the time of
8 scoping and the time of the writing of the EIS. It's a very
9 difficult thing.

10 And one of the things that I heard today that
11 bothers me a lot, when you're doing an EIS and you're doing
12 evaluations, we sit here in technical exchanges all the time.
13 We hear how the repository is being designed. We hear the
14 studies that are being done. There isn't anything really set
15 up to study various heat loads, to make decisions about how
16 waste would come in, canistered, uncanistered because you can
17 hear presentations every time these things are given about
18 what's expected to happen. And at best, when an EIS comes
19 out, I would guess that what's happening and what's expected
20 to happen is that that would then make valid the program
21 that's already there.

22 And one of the reasons I believe that is when Lake
23 Barrett today said that better is the enemy of good enough.
24 Well, when you're the public who lives here, you want better,
25 and you may not agree that something is good enough.

1 And I think it was mentioned by the Board that what
2 you've got here in this EIS is the preferred plan, and it may
3 be all different from the plan that actually happens, just as
4 the VA may be entirely different from what you see in a
5 license application, and what gets built may be entirely
6 different from that as well.

7 But the fact that we're being hit with something
8 that's do nothing at all, just let that stuff stay there,
9 which nobody, regardless of how worried about a repository or
10 how confident you are in one, nobody would ever suggest that.

11 So it's a real wringer that's been thrown in, and I
12 believe this whole process has tremendous problems with it.

13 In Wendy's presentation, there are other things
14 that we've all seen before, but they are just there. And I
15 think I already mentioned it, the need for a repository, the
16 various heat loads. You know, in the RFP that's going out,
17 are these people being told that we're looking at these
18 various alternatives? I don't think so. I think you'll have
19 companies deciding how they can do it as cheap as, as fast
20 as, as--well, I guess cheap and fast is probably going to be
21 it.

22 So I have real problems with that EIS, and I would
23 ask you to stay very diligent with them as this thing goes
24 along. And when you see the annotated outline, I would
25 encourage you to criticize it or take a real close look on

1 it. We've never been told we could see that. We asked for a
2 long time for an implementation plan, and particularly when
3 there was such a disconnect between scoping and the writing
4 of the EIS, and we were turned down.

5 The only other thing, and I will put this in
6 remarks, but Sally was talking about the lack of people at
7 these meetings, and I think that's a given. There are very
8 few people in this room who aren't paid to be here, and it's
9 a very difficult thing to do. And part of the reason for the
10 task force being there and the job that I'm doing is because
11 I'm constantly asked what goes on in these meetings, and I
12 want to be able to be at all of them so I have some
13 continuity. But we put out newsletters, and we are an
14 information source for many other groups, nationally and
15 locally, who, you know, rely on that kind of thing and know
16 that we're here in attendance at these things.

17 I do have one comment on your strategic plan, and
18 it's very quick and right off the bat. But you address
19 public concerns under the section that you have--on Page 4,
20 the section that you have on transportation and packaging.
21 At the end you say, "Ensure that DOE addresses adequately
22 public safety concerns and plans for enhancing safety
23 capabilities." You don't have a similar public concern thing
24 addressed under site characterization, such as the same kind
25 of wording, but that you would make sure that water quality

1 is maintained, you would make sure that there was a usable
2 water source, and there's all kinds of other things that
3 would have to go into site evaluation.

4 So, thank you.

5 COHON: Very good. That's very helpful. Thank you.
6 Ms. Treichel, I would just like to get you to talk a little
7 bit more about EIS. I think you quite correctly point out
8 that a basic or a key ingredient of NEPA is the need to look
9 at choices--

10 TREICHEL: Right.

11 COHON: --for plans other than the one you're putting
12 forward.

13 TREICHEL: Yeah.

14 COHON: The program, DOE is faced with the fact that
15 they have an act of Congress that says you will not do that.
16 So from the outset, the kind of EIS they are permitted to do
17 differs materially from the normal, if you will, or the kind
18 of EIS anticipated by NEPA.

19 I don't see any way around that, so I'm not trying
20 to absolve DOE or the Board from having to look closely at
21 the EIS. Indeed, that's why we had the report today. But
22 there is that basic premise, if you will, and the point of
23 departure as defined by Congress is one that you don't like
24 clearly, but it's one that the program must live with.

25 Now, is that a fair--am I correct in what I've just

1 said?

2 TREICHEL: Well, sure, but if they're given something
3 they can't do, they have an obligation to go back to Congress
4 and say you've given us something that we can't do, that
5 doesn't fit, because--and I think Congress was out of line
6 when they did this, but you may well not have a repository.

7 So to consider alternatives that don't include a
8 repository should be an honest evaluation, and that came up
9 here not too long ago, that, well, there may be regional
10 places where waste goes. You may be able to move it a little
11 bit. There may be all sorts of valuable things to be looking
12 at, but not the idea that you've got waste at wherever it is,
13 and you just throw up your hands and say, well, folks, there
14 it is, it stays there, because nobody is going to do that.

15 And I guess if I had to vote between the two things
16 that are there, I'd probably vote for that one because I
17 would figure you've got enough communities that are going to
18 take care of themselves and will do something about that,
19 rather than take the risk of having a mistake made that's so
20 serious that you may not be able to help.

21 COHON: Very good. Thank you.

22 Earl McGhee? Mr. McGhee, did you want to address
23 us again? You're welcome to, if you like.

24 EARL MCGHEE: No, sir, chivalry is not all the way dead.
25 I believe the lady I've been with for 51 years wants to

1 talk.

2 COHON: Okay. Victoria McGhee.

3 VICTORIA MCGHEE: I'm Victoria McGhee. I live in
4 Amargosa Valley. I want to thank you for coming and sharing
5 your studies with us.

6 Having to work under the blanket of the giant
7 nuclear industry that is so large and fragmented that no one
8 has any responsibility presents its own problems, the nuclear
9 industry that has placed a low-level nuclear waste facility
10 in a residential neighborhood in Amargosa Valley, my
11 neighbor.

12 By putting the residents' health and safety in
13 jeopardy can only cast a shadow on the future. Residents of
14 Amargosa Valley are trying to live normal lives, bring up
15 their children under the constant bombardment of the nuclear
16 industry, residents who can only see the destruction of their
17 way of life in this valley by the giant nuclear industry.

18 Is it really a surprise that you are viewed as the
19 enemy, not to be trusted? Amargosa Valley is just a comma in
20 the scenario of the giant nuclear industry across the nation,
21 the abuses, the lack of concern, the attitude of "that's not
22 my department, try another department," et cetera, et cetera,
23 et cetera; has left the people, the residents, stripped of
24 their rights.

25 I would say continue your studies, but understand

1 these studies affect the lives of real living people, not
2 just lines on a bar graph.

3 Thank you for your courtesy.

4 COHON: Thank you, Mrs. McGhee.

5 EARL MCGHEE: Sir, with your permission, I'd like to add
6 a couple of things.

7 COHON: Certainly.

8 EARL MCGHEE: I attended that meeting in Las Vegas on
9 Fernald, a public hearing. I think I was the public. And I
10 asked a couple of pertinent questions. What are you going to
11 do? Are you going to process that when it arrives at the
12 test site? The answer I got: No, we're going to bury it in
13 a shallow grave.

14 And I asked about transportation and if there's any
15 chance of accidents or so on. He said, well, no, but it's in
16 containers where it wouldn't bother you, only if you breathe
17 it.

18 And there's several other little pertinent things
19 that I put on there.

20 Another thing is the poison that holds this valley
21 back from growth, which meets the growth expectations in the
22 EIS, the test site and with Nye County comprehensive plan.
23 How it's held back, there's Yucca Mountain Boulevard that
24 goes down into Death Valley Junction, is a prime example. In
25 addressing that, at one meeting I told the County Commission,

1 I said, why not just build a volcano at state line with a
2 huge ramp, and we'll march all the people of Amargosa Valley
3 up and have them jump in, make human sacrifice?

4 So I'm thoroughly disgusted with this non-
5 representative and non-servicing government here. I think
6 you people have got to be doing a good job or I wouldn't
7 receive a stack of books about that--if you stack them up,
8 they're that high. And if you go through them, it's amazing.
9 I didn't think there was that many words that you could put
10 in a book.

11 But, however, there was pertinent facts that I
12 brought up before. They mean something to me. And as I
13 stated in Beatty, after 30 years in heavy construction,
14 there's got to be a better way. And I'm not concerned about
15 putting this--building the vaults, as I suggested there, at
16 different sites in the country. Cut down on that
17 transportation. It could be done. That's your job, to find
18 a better way.

19 To bury it in the ground, I've been against burying
20 our poisons; not only nuclear waste, but all waste. We're
21 going to have to redo our thinking. This trash waste is
22 something that should be considered.

23 I had the good fortune of seeing Casmalia before
24 they closed it over on the coast. There's no way--the people
25 protested there, and they had but good right to protest.

1 There's the PWI out in Bakersfield, and Ketterman, and USPCI
2 in Utah, which, to me, I didn't get to see the exact
3 disposal, but I did see the dumping process, which I thought
4 was a little cleaner.

5 I don't know, it's in the hands of people, but get
6 our values straight. Protect not only humanity, but all
7 wildlife and the environment.

8 And I thank you very much.

9 COHON: Thank you, Mr. McGhee.

10 Mike Williams?

11 WILLIAMS: Good evening. My name is Mike Williams. I'm
12 the chairman of the Nuclear Steering Committee in Amargosa.

13 My main concern is this recent spill leakage of the
14 low-level contaminants. I've done some research, and it
15 seems like the whole thing could have been avoided with a
16 minimum amount of money.

17 The containers, to the best of my knowledge,
18 originated in Lawrence Livermore. They were doing some
19 transportation. The containers ended up hot, and they had to
20 buy the containers, and they were nothing more than
21 dumpsters.

22 The containers are arriving at Area 5 at the test
23 site. The main design flaw is there is a two-and-a-half inch
24 I-beam going across the bottom. Structurally, this would be
25 fine, except they stopped one inch from the side of the

1 container from completing the well, which in effect, it's a
2 useless support. So every time your forklift or your lifting
3 capability, whatever you're using, lifts the container, it's
4 going to crack the well. It's something that's very simple,
5 very cost effective to fix.

6 I worked on nuclear submarines for eight years.
7 I'm not against nuclear waste. I know we have to put them
8 somewhere, but to have a \$20 well cause a container to leak
9 is just ludicrous.

10 And we've got these people, CGR Products out of
11 North Adams, Massachusetts. I think they should be fined or
12 held accountable. I don't know who inspects these
13 containers. It would be nice if we had some State
14 regulations, but at this time, we have no State regulators
15 that can even inspect these containers. It's completely out
16 of their hands. It's all DOE.

17 And these containers, who controls the
18 transportation? Can they be compromised by hostile
19 individuals? I mean, when they're sitting at these truck
20 stops, like the one in Arizona, can somebody just walk up to
21 them and drill a hole in them? Is there any security on
22 them? I don't have these answers, but it's something that I
23 wish that we would look at carefully because like I said, a
24 \$20 well is not worth spilling material all along the
25 highway.

1 Thank you.

2 COHON: Thank you, Mr. Williams.

3 Would anybody else like to comment or ask a
4 question?

5 Seeing no takers, we stand adjourned. We're going
6 to reconvene at 7 o'clock and do it all over again.

7 (Whereupon, a recess was taken.)

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1

2

3

4

5

EVENING SESSION

6 COHON: Good evening. Thank you for coming back or
7 coming, whichever the case may be.

8 Our plan is to repeat the presentation on the
9 Board's strategic plan, the presentation we made just about
10 three hours ago. However, if everybody in the room was here
11 before and heard it before, you don't need to hear it again.

12 Is there anybody with us right now who was not here
13 at the earlier session around 4 o'clock?

14 SPEAKER: Yeah, I think there are.

15 COHON: Oh, okay, fine. Good, we're delighted you're
16 here. You're now about to get a personal presentation on the
17 Board's strategic plan.

18 For your benefit, my name is Jerry Cohon. I'm the
19 chairman of the Nuclear Waste Technical Review Board. The
20 members of the Board are sitting at this table here--these
21 tables here, and they and I will be happy to respond to your
22 questions about our strategic plan or about anything you
23 would like to talk about.

24 With that, I'll call on Mike Carroll, our
25 colleague, to make the presentation on our strategic plan.

1 (Whereupon, Mr. Carroll repeated his afternoon
2 presentation.)

3 COHON: Thank you very much, Mike.

4 Okay. In this public comment period, we welcome
5 your reactions to our strategic plan, and in addition, we
6 welcome any comments or questions you would like to offer on
7 anything related to nuclear waste. It need not have any
8 connection whatsoever to our strategic plan.

9 And let me emphasize something, we're genuine in
10 our interest and desire and hearing from the public about all
11 matters related to our activities. And as evidence for that,
12 I would not want you to get the impression we're doing this
13 because the law requires us. In fact, before we knew this
14 law applied to us, we have had a long history of holding our
15 meetings in the communities which would be affected most by
16 Yucca Mountain if the repository were to open there. We've
17 had meetings in Pahrump and in Beatty, and is this our first
18 time in Amargosa Valley? I'm relatively new at this. Bill?

19 BARNARD: Well, is the first meeting we've had in
20 Amargosa Valley. We had a hearing here back in '91, I think
21 --1991.

22 COHON: Okay. And we'll keep doing that, no matter how
23 many members of the public show up.

24 One person is signed up to comment, but that
25 doesn't mean they're the only person who can. I'll call on--

1 I'll open it up generally, but let me call on now Kenneth
2 Garey.

3 Mr. Garey, please, if you would identify yourself
4 again in any event--

5 GAREY: Certainly.

6 COHON: --because you're on the record.

7 GAREY: Distinguished members of the Board, my name is
8 Ken Garey. I'm a resident of Amargosa Valley. First of all,
9 I would like to thank you for having the meeting here in Nye
10 County, and realizing that we are the only independent entity
11 to conduct our own drilling program and monitor the
12 Department of Energy's work.

13 I worked at the Nevada test site for many years,
14 and I'm uniquely familiar with Yucca Mountain and the
15 activities at the test site. Specifically, I worked on the
16 spent fuel demonstration program, which was conducted in, oh,
17 the middle '80s, I believe, and where we brought in spent
18 fuel assemblies from the Turkey Point power reactor and went
19 through characterization and studies of those fuel
20 assemblies.

21 The reality is that the science to date that has
22 been collected at the test site indicates the site will most
23 likely be found suitable. I'm fully aware that a lot more
24 studies need to be done on modeling and things like waste
25 package design, thermal loading, and I applaud your efforts

1 in continued involvement in this project.

2 I'm also grateful that Congress saw fit to restore
3 oversight funding to the affected counties. Through Les
4 Bradshaw and Nick Stellavato's efforts, I believe Nye County
5 is the one entity that is looking out for the health and
6 safety of the Nevadans, and including myself as being one of
7 the closest people to Yucca Mountain. I look out my living
8 room window and see it every morning.

9 So, but I feel that Nye County is doing a good job
10 in protecting Nevada's interest and specifically this
11 community. It seems like the whole world is focused on Yucca
12 Mountain, and it's an honor to be considered one of the
13 people that the whole world is looking out to our best
14 interest.

15 Interim storage or not, Yucca Mountain is a target,
16 and all eyes are upon us. I'm interested that Secretary
17 Peza told Congress that he knows of no show stoppers at the
18 site. I just wish our elected officials would start some
19 sort of dialogue with the Federal Government and private
20 industry aimed at benefits for all Nevadans.

21 Again, I want to thank you for coming to rural
22 Nevada, specifically Amargosa Valley, and we appreciate your
23 willingness to hold your meetings here. Thank you.

24 COHON: Thank you, Mr. Garey.

25 Is there anybody else who would like to make a

1 comment or to ask a question?

2 Yes, sir. Please step up to the microphone and
3 identify yourself.

4 CZARNECKI: I'm John Czarnecki. I'm a hydrologist with
5 the U.S. Geological Survey.

6 I have a question that I've asked several people
7 connected with this project since I've been on it since 1982.
8 Although the questions didn't start until I would say about
9 five years ago, as many in this room are aware, we had
10 documents referred to as study plans, another acronym for SP.
11 And not too long ago, many of the study plans were
12 rescinded. Yet I believe that those study plans were
13 carefully constructed, carefully thought out, and a lot of
14 that work will never be done. And I'm wondering, with all
15 this work that had been identified to characterize Yucca
16 Mountain, what the Board feels regarding that work and
17 whether it should be done.

18 COHON: Well, first, let me see--is it fair, Russ Dyer,
19 to ask you to expand on this? I mean, is there enough
20 specificity in that question for you to respond?

21 Russ Dyer is the program manager.

22 DYER: I can try to. I may need some help here. Russ
23 Dyer, DOE, Yucca Mountain.

24 Study plans were a management tool that we put in
25 place at one time to provide more specificity to the site

1 characterization plan. It provided us a level of detail down
2 below the site characterization plan in lieu of any other
3 management tools that we had in the system at that time.

4 Since that time, we put in place other management
5 tools that allow us to control what the work that needs to be
6 done is. There is still, I think, a general understanding
7 that the data needs that we identified in the site
8 characterization plan and in the study plans are still things
9 that need to be addressed. The question is whether a study
10 plan specifically needs to be a QA-controlled document that
11 needs to provide the management tool for acquiring that
12 information. There are other tools in place available now
13 that we can use.

14 The data needs still exist. We can quibble about
15 whether every test needs to be run that was originally in the
16 list in the site characterization plan or in study plans, but
17 the original data needs that we identified I think are still
18 pretty much valid data needs that need to be addressed by
19 whatever test or mechanism.

20 I hope that addresses some of your question, John.

21 COHON: For the Board's part, I think it's a fair
22 statement that our major focus is on that very point; that
23 is, what data, what tests are necessary to support a decision
24 by DOE. And we spend a great deal of our time, both in these
25 meetings and in reading reports, in a discussion dealing with

1 that. So it's very much a live issue. Thank you.

2 Oh, Dr. Knopman?

3 KNOPMAN: Knopman, Board.

4 I'm wondering if John might be willing to return to
5 the microphone so he could be a little bit more specific
6 about his particular modeling effort and what the status of
7 that is.

8 CZARNECKI: Well, you'll hear my presentation tomorrow
9 on the current model. I had a particular issue in mind when
10 I asked the question about the study plans, and that's
11 related to the characterization in the large hydraulic
12 gradient, which again, you'll hear more of tomorrow.

13 This is a thorny issue that won't go away until we
14 get the data required to characterize this particular
15 problem.

16 In the study plan that I was involved with, which
17 took a--it was written over a period of a couple years on and
18 off with reviews and all. We identified several drill holes
19 to characterize the large hydraulic gradient. And I still
20 think--and in the process of identifying which holes we
21 wanted, I actually had a lot more, but through different
22 management reviews and looking at budgets and what things
23 would need to be sacrificed if an additional drill hole were
24 to be constructed, we ended up with, I think, about four. So
25 far we've got one, WT-24, which is very nice to see. It's

1 very encouraging.

2 But there's much more work that could be done. And
3 when I got the notice that the study plan was not--no longer
4 needed or no longer considered part of the QA program, I
5 wondered, what does this mean for site characterization.

6 So that's one particular issue. That particular
7 study plan had, I think, four different activities, and all
8 of which are not being funded. I'm not asking for funding.
9 I'm just asking--I guess the fundamental question is, people
10 will see the study plans, and if the work wasn't done,
11 they'll ask why.

12 COHON: Why. That's a good question.

13 CZARNECKI: And a lot of thought went into the
14 identification of these studies, and we thought these were
15 important.

16 COHON: Indeed, DOE must be able to answer that
17 question, why was this work not done. I think there is an
18 answer, and quite an appropriate one--as a general matter. I
19 mean, I'm not speaking at all to your drill holes and the
20 hydraulic gradient. But as a general matter, this program
21 made a major transformation from a science project to a
22 project focused on the key question, is Yucca Mountain
23 suitable?

24 I think we would all accept, especially those in
25 the scientific community, that one could study this site, and

1 perhaps should, for many decades, even centuries to come, and
2 we could still drill more holes and probably would want to,
3 and they'd still yield more data.

4 DOE is in a tough position, but it is their
5 position. That's their job to balance that need for more
6 scientific data against the realities of limited budgets,
7 limited time and quite appropriate pressures from the
8 Congress to bring this thing to closure, either to do it or
9 not. That's a tough call, and they're very much--have a
10 difficult job of making those tradeoffs and then defending.

11 But you're absolutely right, and we have to keep
12 reminding them, and you have, that they have to be prepared
13 to answer that question why. Thanks for raising it.

14 CZARNECKI: Thank you.

15 COHON: Other questions or comments?

16 Yes, sir. Please identify yourself again.

17 VASCONI: Bill Vasconi, and I got to speak a little
18 earlier, and I'd like to speak again. And you asked me then
19 who I represented, and I said I was speaking as a concerned
20 citizen. But I also sit as a board of director on the NTS
21 Development Corporation, which is any number of individuals
22 throughout this state that are trying to maximize the
23 contributions not only to the community, but to the state in
24 use of the expertise, whether it be scientific,
25 technological, that has been developed at the test site over

1 any number of decades.

2 Another representation I do is I am involved with
3 AFL/CIO, building construction trades, which number some
4 32,000 members. And although not all of them agree with some
5 of the things I say, they have let me use their name at these
6 meetings, and they appreciate me making comments. Naturally,
7 it's economic with them, jobs.

8 I also sat on the study committee, which was the
9 Nuclear Waste Study Committee at one time. It's now called
10 the Nevada Study Committee. And we talk on equity issues.

11 No, I do not get paid by any of them, but I can use
12 this as an opportunity to address you folks because we think
13 you're relatively important, and we appreciate you coming to
14 this state and giving us an opportunity to talk.

15 You know, Nevada here, our outlining counties, the
16 10 affected counties, there are economics involved directly
17 around that test site. In 1987, we had 11,200 people working
18 at the Nevada test site. Today we have less than 2,200.

19 It used to be called the Nevada proving grounds.
20 The first device was detonated there in '51, January 27, its
21 code name Able. Since that time, there's been 928 nuclear
22 devices detonated at the Nevada test site. Of those, 24 was
23 with Great Britain. Of those, only 100 was delivered by air.
24 They were atmospheric shots. The rest of them were
25 transported over the highways.

1 Another thing about the Nevada test, which our last
2 device was September 22, '92. Since that moratorium, we're
3 looking for other initiatives, economic initiatives, not only
4 to our community, but to our state.

5 But as a Technical Review Board, you've got to keep
6 in mind, we're also looking for equity. There's equity
7 issues out there. We know our congressional delegation has
8 presented the fact that 100 per cent of Nevadans are opposed
9 to dumping nuclear waste in our backyard. Not so. Those of
10 us that understand nuclear--and I worked at the test site for
11 10 years as a general foreman in the electrical department.
12 I also worked four years in the radiological science
13 department. I've seen things change. I've seen things come
14 a long way.

15 As a matter of fact, in the early '60s, we poured
16 Iodine-131 down some of the drill holes. I believe it only
17 lasted about 30 days. One of my jobs was to chase through
18 the community where the water was coming up to see if we
19 could find that Iodine-131.

20 Well, today, you've almost got a DNA on where the
21 water starts, where it travels and where it comes up at. I
22 listened to a presentation here just a few days ago. We can
23 identify that water by the carbons, the minerals in it, et
24 cetera. I was amazed at that.

25 To get back to the equity. You know, we have

1 federal land transitions. 86 per cent of Nevada is federally
2 owned. Maybe you'd like to see something done with that.

3 Improvements in highways, taxation. I could go on
4 and on and on and on. But we received virtually nothing,
5 except a little bit of oversight money.

6 Those equity issues will come up repeatedly. If
7 you hear that 74 per cent of Nevadans don't want the nuclear
8 waste, you'll also hear that 96 per cent of them believe it's
9 coming anyway, and why shouldn't we get something for solving
10 this nation's problems?

11 You know, 50 per cent of the people who live in Las
12 Vegas, Nevada, right now have been here less than 10 years.
13 They don't know what Yucca Mountain is. You have to explain
14 it to them.

15 You know, our gambling industry, which some people
16 think is the bottom of all this resentment, you know, they'll
17 take the textiles from the southern states. They'll take the
18 produce from California. They'll take the steel from Gary,
19 Indiana. And they'll take the money right out of your back
20 pocket. But they don't want your waste. It doesn't quite
21 make sense, does it?

22 Now, we've got all the bartenders and sheet
23 changers we need in Las Vegas, Nevada. What we need to do is
24 keep our technical people here, give our kids in the
25 university something to look forward to when they graduate

1 instead of going to another state. We're familiar with the
2 Los Alamos National Laboratories and LLNL and Sandia and
3 Defense Nuclear Agency. We want to keep those technologies
4 alive. We want to see more happen to this Nevada test site.

5 And we can talk transportation issues. You heard
6 me a little while ago. Clark County, ladies and gentlemen,
7 is not the place to consider nuclear waste. When I first got
8 there, there was 180,000 people. Now you've got over a
9 million.

10 Thirteen of your 21 State senators come from Clark
11 County. Twenty-one of your 42 representatives come from
12 Clark County. It's going to be a hard nut to crack.

13 Now, we're receiving waste already, low-level
14 waste. We received some 16 million cubic yards of low-level
15 waste from inside the DOE complex. That's a football field
16 15 stories high. They also estimate there will be many more
17 thousands of shipments of low-level waste.

18 And what do we estimate on our high-level waste?
19 Unreal. The best way to do it is by rail, and again, I stand
20 here and tell you Clark County is not the route to go.

21 Now, I heard a little while ago, there's programs
22 for everything. There's a bureaucracy for everything. The
23 WIPP project has got its own means of transportation through
24 rail systems. Your Navy's nuclear propulsion system, INEL,
25 has got their own set of rules. You've got your own set of

1 rules for EM. You've got your own set of rules for your
2 Defense Department, your missiles, et cetera. Maybe we ought
3 to consolidate and get the best of all of them and utilize
4 that for our Yucca Mountain. It seems to me if it was all
5 under roof and we add the best of all of them, some of our
6 transportation problems would go away.

7 The other thing is they tell me--I'd seen it on
8 T.V. last night. There's two things the general American
9 public are afraid of. The biggest one is falling from great
10 heights. The other one is getting up on a mike and talking
11 to a group.

12 Now, I was in the 101st Airborne. I wasn't afraid
13 to jump out of airplanes. So I can get up on this mike. But
14 if you want to hear from the folks that live in a community,
15 maybe you ought to have a little break-away session where
16 you're not piled up in a big group, and that way you might
17 hear how they really feel. It's a lot easier talking to a
18 man sitting down across the table sharing a glass of water
19 than it is to get up in one of these metal things and
20 thinking you're going to make an ass out of yourself, right?
21 Give that some consideration.

22 Now, I know you don't get an opportunity very
23 often, but I'm hard pressed to tell you this. You know, I
24 live in a country where I see people trying to do something
25 about a national problem. I'm hard pressed, regardless of

1 what you may have heard at these meetings, to find DOE trying
2 to get themselves in a position where they're going to get
3 yelled at or found wrong.

4 Maybe 20 years ago when they had a big hammer, that
5 was one thing. But right now, all the meetings I attended,
6 and I'm not a shield for DOE, but they've been damn
7 cooperative, and they've answered the questions, or they went
8 and found the answers out.

9 So don't think this is a national issue and people
10 like me don't understand it. Just give us an opportunity to
11 address you once in awhile, tell you our convictions. If you
12 can help us, I'll say thank you.

13 And again, thank you.

14 COHON: Thank you, Mr. Vasconi.

15 Is there anybody else who would like to comment?
16 Don't be afraid of that metal thing in front of your face.
17 We sit here and make asses of ourselves all the time.

18 Okay. Going once, twice, sold. Thank you all very
19 much for coming back tonight. We appreciate having heard
20 from the three speakers. We stand adjourned. We will
21 reconvene tomorrow morning at 8 o'clock in this room. Good
22 night.

23 (Whereupon, the meeting was adjourned, to reconvene
24 at 8:00 a.m. on Wednesday, January 21, 1998.)

25

1

2

3

4