

UNITED STATES  
NUCLEAR WASTE TECHNICAL REVIEW BOARD

SUMMER BOARD MEETING

June 24, 1998

Crowne Plaza Hotel  
4255 South Paradise Road  
Las Vegas, Nevada 89109

BOARD MEMBERS PRESENT

Dr. Jared Cohon, Chair, NWTRB  
Mr. John W. Arendt  
Dr. Daniel B. Bullen  
Dr. Norman L. Christensen, Jr.  
Dr. Paul P. Craig  
Dr. Debra S. Knopman  
Dr. Priscilla P. Nelson  
Dr. Richard R. Parizek  
Dr. Donald Runnells  
Dr. Alberto A. Sagüés  
Dr. Jeffrey J. Wong

SENIOR PROFESSIONAL STAFF

Dr. Carl Di Bella  
Dr. Daniel Fehringer  
Mr. Russell McFarland  
Dr. Victor Palciauskas  
Dr. Daniel Metlay  
Dr. Leon Reiter

NWTRB STAFF

Dr. William D. Barnard, Executive Director, NWTRB  
Paula Alford, Director of External Affairs  
Karyn Severson, Congressional Liaison  
Frank Randall, Assistant, External Affairs  
Auyako Kurahara, Writer/Editor  
Linda Hiatt, Management Assistant

I N D E X

|  | <u>PAGE NO.</u> |
|--|-----------------|
| <b>Welcome and Opening Remarks</b>   |                 |
| Jared Cohon, Chairman  |                 |
| Nuclear Waste Technical Review Board (NWTRB) . . . . .   | 3               |
| <b>Program Overview</b>  |                 |
| Lake Barrett, Acting Director, OCRWM . . . . .   | 8               |
| <b>Repository Safety Strategy</b>  |                 |
| J. Russell Dyer, Project Manager   |                 |
| Yucca Mountain Site Characterization Project. . . . .  | 35              |
| <b>Total System Performance Assessment for the<br/>Viability Assessment and Associated Sensitivity<br/>Studies</b>                     |                 |
| Robert Andrews, Manager of Performance<br>Assessment Operations, M&O . . . . .   | 52              |
| <b>Repository Design Alternatives</b>  |                 |
| Michael Voegele, Deputy Director,<br>Regulatory and Licensing, M&O . . . . .   | 117             |
| <b>Comments from the Public.</b> . . . . .   | 152             |
| <b>Post Closure Safety Case</b>  |                 |
| Jack Bailey, Director,<br>Regulatory and Licensing, M&O . . . . .  | 160             |
| <b>Work Remaining to Complete Site Recommendation<br/>and Application</b>  |                 |
| Jean Younker, Deputy Assistant General Manager<br>for Technical, M&O . . . . .   | 213             |
| <b>Environmental Impact Statement Alternatives</b>   |                 |
| Wendy Dixon, Assistant Manager for Environment,<br>Safety and Health, Yucca Mountain Site<br>Characterization Project Office . . . . . | 256             |
| <b>Updates on the Nye County Early Warning Drilling<br/>Program (EWDP) and Alternative Repository Design<br/>Work</b>                  |                 |
| Nick Stellavato and Parviz Montazer . . . . .  | 286             |
| <b>Comments from the Public</b> . . . . .  | 317             |
| <b>Closing Remarks and Adjournment</b>   |                 |

Jared Cohon, Chairman, NWTRB . . . . . 348

1                                   P R O C E E D I N G S

2           COHON: Good morning. My name is Jared Cohon. I'm the  
3 Chairman of the Nuclear Waste Technical Review Board. It's  
4 my pleasure to welcome you all to this summer meeting of the  
5 Board here in Las Vegas. I would begin by introducing the  
6 other members of the Board, as well as myself, each of whom  
7 serves on the Board in a part-time capacity. Every one of us  
8 has another job, usually full-time, and in some cases like  
9 mine, more than that. I am, in addition to chairing the  
10 Board, am president of Carnegie-Mellon University in  
11 Pittsburgh.

12                   I want to start by going out of order. We usually  
13 do this in alphabetical order, but I want to welcome to the  
14 Board a new member of the Board, Don Runnells. If you could  
15 turn around so they can see you? I would ask each member to  
16 stand up when I introduce you so everybody can see you.

17                   If the press is to be believed, and of course we  
18 invariably read the press, Don's appointment was approved  
19 just this week by the White house. We have yet to get direct  
20 communication from the White House, but we're confident that  
21 the news is true, that Don was appointed by the President in  
22 fact yesterday. Don retired five years ago from the  
23 University of Colorado in Boulder, where he had taught for 25

1 years. His expertise is in geochemistry, and we're delighted  
2 to have him as a new member of the Board.

3           Although other members are now veterans, having  
4 served for at least several months, I would nevertheless like  
5 to introduce them to you.

6           John Arendt, a chemical engineer, retired from Oak  
7 Ridge to form his own firm. He specializes in many aspects  
8 of the nuclear fuel cycle, of which standards and  
9 transportation are two particular examples. He chairs the  
10 Board's Panel on the Waste Management System.

11           Daniel Bullen is in the Mechanical Engineering  
12 Department at Iowa State University, where he specializes in  
13 nuclear engineering and, in particular, nuclear waste  
14 management. He chairs our Panel on Performance Assessment.

15           Norm Christensen is dean and professor at the  
16 Nichols School of Environment at Duke University and brings  
17 expertise to the Board in the areas of biology and ecology.

18           Paul Craig is professor emeritus at the University  
19 of California at Davis, is a physicist by training. His  
20 special expertise and research interests are in energy policy  
21 issues related to global environmental change.

22           Debra Knopman is director of the Center for  
23 Innovation and the Environment in Washington. She's a former  
24 Deputy Assistant Secretary of the Department of Interior,  
25 former scientist and science manager at the USGS, and an

1 expert in ground water hydrology. She chairs our Panel on  
2 Site Characterization.

3 Priscilla Nelson is program director in the  
4 Directorate of Engineering of the National Science Foundation  
5 in Washington. She's a former profession at the University  
6 of Texas and is an expert in geotechnical matters. She  
7 chairs the Board's Panel on the Repository.

8 Richard Parizek is professor of Hydrologic Sciences  
9 at Pennsylvania State University, and an expert in geology  
10 and ground water hydrology.

11 Alberto Sagüés is professor of civil and  
12 environmental engineering at the University of South Florida.  
13 He's an expert on materials and corrosion, with a particular  
14 emphasis on concrete and its behavior under extreme  
15 conditions.

16 Jeff Wong is chief of the Human and Ecological Risk  
17 Division of the Department of Toxic Substances Control in the  
18 California EPA in Sacramento. He is an expert in risk  
19 assessment and chairs our Panel on Environment, Regulation  
20 and Quality Assurance.

21 As you know, we're supported by a very competent  
22 and energetic professional and administrative staff, who are  
23 arrayed handsomely along the--to my left here along the side,  
24 and in the back and front of the room. I'm not going to  
25 introduce them. Many of you know them very well already. I

1 just want to note that we rely extremely heavily on this  
2 staff, both for his wonderful expertise and its continuity.

3           Let me continue by thanking especially Lake Barrett  
4 and Russ Dyer, not only for being here today, but for having  
5 spent a full day, a very full day with the Board yesterday on  
6 a field trip to Yucca Mountain and Busted Butte. They and  
7 their colleagues put in a tiring, we have to acknowledge, but  
8 in the Board's view, a very productive day visiting the  
9 locations where important site characterization studies are  
10 being conducted.

11           I'd like to convey the Board's thanks also  
12 especially to Claudia Newberry, who's in the audience, I saw  
13 her earlier, and her colleagues for putting together the day.  
14 It was not easy with the logistics of so many people. We  
15 thank you very much for that.

16           As I'm sure everyone in this room knows, DOE will  
17 be publishing this fall its Viability Assessment for Yucca  
18 Mountain. And as almost everybody, if not everybody, knows  
19 already, the Board has been following this effort very  
20 closely through our meetings, both board meetings and panel  
21 meetings. We have, over the last year, been looking at  
22 studies of the unsaturated zone, the waste package, and the  
23 saturated zone especially. Today, we'll be taking a more  
24 systems view, if you will, in examining the program's  
25 activities, especially with regard to what the VA may be able

1 to tell us about the important issues to be resolved before a  
2 suitability determination can be made. We appreciate DOE's  
3 efforts to create a coordinated set of presentations on this  
4 theme.

5           Lake Barrett will present an overview of the  
6 opportunities and challenges the waste management program is  
7 facing. Lake will be followed by Russ Dyer, who will talk  
8 about the safety strategy the DOE is pursuing in developing a  
9 potential repository at Yucca Mountain.

10           Following lake and Russ, Bob Andrews will discuss  
11 work on total systems performance assessment being prepared  
12 for VA. He will talk in particular about the sensitivity  
13 studies that are attempting to evaluate how repository  
14 performance might be affected if enhancements to the  
15 engineered system, such as drip shields, backfill and ceramic  
16 coatings, were incorporated in the repository reference  
17 design.

18           Following Bob, the Board will hear from Mike  
19 Voegele with assistance from Jean Younker, who will discuss  
20 plans for analyzing alternative repository designs that might  
21 be carried forward into licensing.

22           After lunch, Jack Bailey and then Jean Younker will  
23 make presentations on what DOE believes still must be  
24 undertaken between VA and a determination about whether Yucca  
25 Mountain is a suitable site for developing a repository.

1           Part of that Presidential decision on suitability  
2 will be based on an environmental impact statement. Wendy  
3 Dixon and Lee Morton will brief the Board on work being done  
4 to prepare that document, especially about the design  
5 alternatives that will be analyzed.

6           The day's presentations conclude with a talk by  
7 Nick Stellavato and Parviz Montazer on work being conducted  
8 independently by Nye County in the saturated zone and with  
9 respect to alternative repository designs.

10           We will have two opportunities for members of the  
11 public to make comments and ask questions. Now, the  
12 distributed agenda only shows one such opportunity. Let me  
13 point out that we will have a brief 15 minute public comment  
14 period just before the lunch break, so at approximately noon,  
15 and then a longer more extended one, basically an open ended  
16 one, at the conclusion of the technical presentations. The  
17 brief one at noon is intended for two purposes in response to  
18 what we've heard from members of the public after the past  
19 meetings. On the one hand, we want those members of the  
20 public who cannot stay for the whole day to have the  
21 opportunity to comment at that time.

22           In addition, because it is often more valuable to  
23 make comments earlier, and especially closer to when the  
24 presentation has been made, we consider that earlier  
25 opportunity somebody considered an advantage.

1           We ask if you're interested in making public  
2 comment that you sign up with Linda Hiatt at the rear of the  
3 room. There's a sign-up sheet. It's not essential, but it's  
4 appreciated by us if you would do so.

5           I'd like to make one final comment about Board  
6 members, including myself, and the comments we will make  
7 during this meeting. We're often asked do the comments made  
8 by individual members reflect Board positions. It's a  
9 question that comes up almost after every meeting, and I  
10 think it comes up because what the Board has to say matters.  
11 It matters greatly. The Board conveys its findings,  
12 conclusions and recommendations in writing in the form of  
13 formal reports, letters to Congress and/or the Secretary of  
14 DOE and/or the Director of the Program, and also in written  
15 Congressional testimony.

16           We attempt to run these meetings, and those of you  
17 who are veterans of them I think will agree, in an open and  
18 unconstrained manner. Board members are encouraged to ask  
19 many questions, and this set of Board members does, and to  
20 make points that they believe are relevant to the  
21 proceedings. But comments by individual members are just  
22 that. Whether they become a Board position, those individual  
23 comments, only time will tell. To ensure that a consistent  
24 message is sent from the Board to the Program after these  
25 meetings, we will continue a practice that we started about

1 nine months ago by sending to Lake Barrett a letter  
2 summarizing what the Board as a body took away from the  
3 meeting. Anyone interested in obtaining a copy of past  
4 letters, should contact one of our staff members and we'll be  
5 happy to provide it to you.

6           As you know, these meetings are on the record. So  
7 I would ask all presenters to speak clearly into microphones,  
8 whether it's in the audience or up here, and in the case of  
9 commenters, members of the public who wish to ask questions,  
10 we ask that you start by telling us who you are.

11           Without further ado, I'm pleased to introduce to  
12 you Lake Barrett, the Acting Director of the Program, of the  
13 Office of Civilian Radioactive Waste Management.

14           Lake?

15           BARRETT: Thank you, Jared. Good morning, Board and  
16 Staff and members of the public.

17           First of all, the comment that I think the American  
18 people should be very grateful to the Board for putting--from  
19 6:00 a.m. till 11:00 p.m. at night, the whole Board out  
20 there, some folks coming in with nine hour time lags from  
21 Europe. Also that was very impressive and you all asked good  
22 questions all day long. So you really are doing the job  
23 well, and as a citizen of the United States, I thank you.

24           Yesterday, you saw many of the things that we're  
25 doing out there. I think that will be very important as you

1 provide good quality input to the Congress and the President.  
2 You will be hearing from members of our contractor and DOE  
3 staff later on today, and I'd like to also thank the Board  
4 for including Nye County presentation today. I think that  
5 will be very helpful to all.

6           What I'd like to try to do is cover a little bit of  
7 the issues that are going on around the waste management  
8 program that have impact on the waste management program,  
9 talk a little bit about the approach and what we're trying to  
10 do within the Department of Energy, and then end up talking a  
11 little bit about some of the systems points that you have in  
12 your topics and agenda.

13           First of all, I'll summarize a little bit about  
14 some of the Congressional actions that have been going on.  
15 Last year, the House and Senate passed bills that call for  
16 the development of interim storage facilities in Nevada with  
17 differing provisions. Due to the constrained legislative  
18 calendar, Congress chose to pursue a compromise bill in lieu  
19 of a conference committee to resolve the differences between  
20 the chambers. But in the Senate, a cloture motion to limit  
21 floor debate failed to achieve the required 60 votes. Just  
22 prior to the vote, Speaker Gingrich announced his intentions  
23 not to schedule a House vote on nuclear waste legislation  
24 this year. Consequently, this Congress is unlikely to  
25 present comprehensive nuclear waste legislation to the

1 President this year. The basic drivers for the legislation,  
2 however, still remain and the proponents have indicated an  
3 interest to continue their legislative efforts in the next  
4 Congress. We will all have to await and see what those  
5 future developments will entail.

6           On May 5, 1998, the United States Circuit Court of  
7 Appeals for the District of Columbia rejected petitions for  
8 rehearing the court's decision that the delays clause in the  
9 standard contract provides a potentially adequate remedy to  
10 the contract holders, that's the utilities, for the  
11 Department's failure to begin disposing of nuclear fuel on  
12 January 31, 1998.

13           The decision also denied a request from the  
14 utilities and the states to escrow Nuclear Waste Fund fees.  
15 The Department continues to explore approaches to resolving  
16 this issue in a fair and equitable manner to all parties. On  
17 May 18, 1998, the Secretary proposed a settlement with the  
18 utilities which would postpone collecting a portion of the  
19 utilities fees to offset utility costs due to the  
20 Department's delay.

21           The proposed settlement was not considered adequate  
22 by the utilities. As of last week, eight utilities have  
23 since filed suit against the Department in the Court of  
24 Federal Claims, seeking more than \$2.7 billion in damages.  
25 The Department of Justice, on our behalf, has petitioned the

1 Court of Federal Claims to dismiss the utility lawsuits until  
2 administrative remedies under the standard contract have been  
3 exhausted. Regardless of the legal maneuvers, I hope that a  
4 mutual accommodation can be created by a dialogue among the  
5 parties, possibly as a follow-up to the Department's May 18th  
6 offer, or some other mechanism.

7           The President's Fiscal 1998 Budget seeks \$380  
8 million for the program. This funding would enable the  
9 program to continue implementing the revising program plan as  
10 refined by the information gained during the Viability  
11 Assessment work that's presently ongoing. The President's  
12 budget emphasizes the site characterization of Yucca  
13 Mountain.

14           The Committees in both the House and Senate have  
15 completed the mark-ups of the President's budget. The Senate  
16 Appropriations Committee proposed \$375 million for the  
17 program next year, with \$15 million set aside for research in  
18 advanced accelerator technologies, and approximately \$5  
19 million provided each for the State of Nevada and affected  
20 counties for oversight.

21           On the House side, the House Appropriations  
22 Committee proposed \$350 million for the program, and did not  
23 include funding for accelerators nor the state nor the  
24 counties. They've also directed the Department to reduce  
25 support service contractor work by 10 per cent. This will

1 have some serious negative impacts on the program, especially  
2 in areas such as the EIS, but we're working with the  
3 administration. I'll note that the President's statement on  
4 administration policy did call out the President's concern  
5 with those reductions in his response last week.

6           Stable funding is critical to the efficient and  
7 effective completion of the site characterization program.  
8 Over the last three years, the program has successfully  
9 implemented a focused site characterization program that has  
10 resulted in substantial progress, as you saw yesterday,  
11 toward a national decision in the geologic disposal at Yucca  
12 Mountain, despite the FY 98 budget reductions. This progress  
13 has been achieved at a significantly lower cost than previous  
14 estimates. Reliable and predictable funding is central,  
15 however, to the dynamic planning process that we use to  
16 manage an effective technical program.

17           Over the past year, I've appeared before this Board  
18 a number of times to discuss the status and plans of the  
19 radioactive waste management program. In those discussions,  
20 I emphasized our focus on completing the viability assessment  
21 this year. Assembling the enormous volume of data in a  
22 coherent and workable repository concept has been a  
23 significant challenge and accomplishment for the program.  
24 We're in the final states of completing this work and we  
25 expect to deliver the viability assessment for the

1 Secretary's review this September on schedule. The  
2 completion of the viability assessment will effectively mark  
3 the midpoint of the five-year plan to complete the site  
4 characterization under the revised program plan.

5           Our plan calls for a substantial effort after the  
6 VA to complete the site characterization, to continue our  
7 design activities, which we'll talk about in some more  
8 detail, and to develop and document the technical bases for a  
9 Secretarial recommendation of the Yucca Mountain site as a  
10 potential geologic repository. Supported by adequate  
11 funding, our plan should provide the sound basis for a  
12 national decision on geologic disposal in 2001. The plan  
13 includes publishing a draft environmental impact statement in  
14 '99. Wendy Dixon will discuss this in more detail this  
15 afternoon with you.

16           In general, the environmental impact statement will  
17 describe the environmental impacts of a Yucca Mountain  
18 repository under a bounding range of implementing  
19 alternatives. Following public hearings and consideration of  
20 comments, as required by the National Environmental Policy  
21 Act, we will publish a final environmental impact statement  
22 in 2000. Should the technical information assembled by the  
23 Program indicate that geologic disposal at Yucca Mountain is  
24 an environmentally sound approach to the management of  
25 radioactive wastes, we will complete the evaluation of the

1 site and prepare the technical documentation necessary for a  
2 site recommendation in 2001. Should the site be designated  
3 under law, we would submit a license application to the  
4 Nuclear Regulatory Commission to construct the repository in  
5 2002.

6           Yesterday, you visited a number of the ongoing  
7 technical activities. These scientific activities, coupled  
8 with our design and engineering work, and our performance  
9 assessment activities, form the core technical program that  
10 supports the site evaluation, the environmental impact  
11 statement work, and the license application work. The use of  
12 a single technical program to support all the products  
13 ensures a consistent technical basis for all the decisions  
14 that we make.

15           A significant portion of the work completed after  
16 the viability assessment is associated with the repository  
17 and waste package design. Your recent correspondence notes  
18 that we should develop viable alternatives to the current  
19 reference repository and waste package design, and that those  
20 alternatives should evolve over time as our understanding of  
21 the site and the interactions between the natural and  
22 engineered systems further evolve. We agree the repository  
23 and waste package designs should not be prematurely fixed,  
24 and other potential design options should not be foreclosed.  
25 These advanced design activities are an essential part of

1 the technical work planned after the viability assessment,  
2 and will be described in detail by Mike Voegele later this  
3 afternoon.

4           Our basic approach has been to focus first on  
5 developing site information required to design a site-  
6 specific repository system and to be able to assess its  
7 performance. That includes the environmental performance as  
8 well as the costs for that facility. The Board's recent  
9 report emphasizes the importance of both natural and  
10 engineered barriers to repository performance. We agree, and  
11 our analyses demonstrate that the performance of the  
12 engineered and natural barriers are highly interrelated and  
13 cannot be evaluated in isolation of one another. Our efforts  
14 also indicate that advanced design work, including the  
15 meaningful evaluation of alternatives, requires an increased  
16 understanding of the site and the development of detailed  
17 process models that were previously unavailable.

18           We recognize performance benefits that may be  
19 achieved with design options and alternatives. We are  
20 careful, however, not to prejudge these design analyses.  
21 Systematic evaluation of design options and alternatives are  
22 inherently complex. These analyses often involve complex  
23 tradeoffs that must be carefully evaluated to understand the  
24 system performance impacts and costs. Analyses of our  
25 reference design and various design alternatives also reflect

1 our obligation to provide defense in depth as required by  
2 Nuclear Regulatory Commission regulations. No single silver  
3 bullet can be allowed to become the sole or principal basis  
4 for the safety of the repository, because the Commission's  
5 approach to defense in depth and reasonable assurance will  
6 require us, and properly require us, to analyze the  
7 consequences of the failure of a single silver bullet.

8           We recognize that while enhancements may provide  
9 expectations of improved performance, they cannot provide  
10 absolute assurance of complete containment of radionuclides  
11 for many thousands of years. Such assurance is beyond what  
12 science and engineering can likely provide and defend in a  
13 licensing proceeding. It is important that knowledgeable  
14 parties, such as this Board, which I consider probably the  
15 most knowledgeable national party in this area, strive to  
16 ensure that policy makers understand the limitations of  
17 scientific predictions. Otherwise, the repository may be  
18 saddled with expectations for performance that cannot be  
19 demonstrated in a licensing proceeding for this site or any  
20 other site in the world. Such expectations could result in  
21 the rejection of an otherwise suitable site, and the de facto  
22 rejection of the geologic disposal option. Such rejection  
23 will not avoid the consequences of long-term radioactive  
24 waste management. It will simply require society to resort  
25 to a new and different and currently undefined approach that

1 none of us really know would be.

2           As I mentioned earlier, the Program is approaching  
3 the midpoint of its five-year drive toward completing site  
4 characterization. Later this year, we will complete the  
5 viability assessment and submit it to Congress and the  
6 nation, and it will provide all the parties with a better  
7 appreciation of the geologic disposal option, and will  
8 provide a sound basis for the planning and implementing of  
9 the remaining technical work necessary to evaluate the site,  
10 prepare environmental impact statements, support a site  
11 recommendation, and prepare a license application if the site  
12 is determined to be suitable. With adequate funding, the  
13 program is poised to complete this work and support the  
14 national decisions regarding the Yucca Mountain site.

15           Thank you for the opportunity to appear before you  
16 this morning. I again thank you for your energy yesterday on  
17 that long tour. I will try to address any questions that you  
18 may have at this time.

19           COHON: Thank you very much, Mr. Barrett, and thank you  
20 for your kind remarks with regard to the Board.

21           Are there questions from members? Paul Craig?

22           CRAIG: Well, I certainly want to thank you, Lake, for  
23 the wonderful tour yesterday. Everybody was wonderful. It  
24 really was a great trip.

25           I was struck yesterday by something that struck me

1 in the past, and I'd like to ask you to react to the  
2 following idea. When I go out to Yucca and I look at it and  
3 I listen to our geologists and your geologists talk about it,  
4 it looks pretty darned good, and in general, it seems to look  
5 better than it appears in your technical documentation. Now,  
6 Abe Van Luik properly points out that pluvial conditions  
7 change things. Nevertheless, yesterday we went to N site,  
8 and I've also been to Los Alamos, and those places are  
9 considered to be examples of places which have pluvial  
10 conditions. And even taking that into account, it still  
11 seems to me to look better than it looks in the  
12 documentation. What I'd like to ask you to do is to react to  
13 that perception.

14       BARRETT: Well, I believe that we all--the TSPA work  
15 we're doing, basically call those expected values. Now, one  
16 of the things that we know we're going to have to do in this  
17 country is go through a licensing procedure. I mean, whoever  
18 is proposing to go with a facility such as the Yucca Mountain  
19 repository has to be able to demonstrate to the American  
20 people and the world that this is a--thing to do, considering  
21 future generations, responsibilities, environmental  
22 protection, and all of those issues.

23               One of the things when you start to assemble the  
24 information as to what that would be, there is a national  
25 tension between what you really think the situation is going

1 to be and then what you can be able to sustain and  
2 demonstrate in a licensing procedure. Our team will be  
3 called upon to demonstrate before basically Doubting Thomases  
4 who will say I don't believe that's true. You demonstrate to  
5 me that that is true. There becomes a difference there, and  
6 I think what you will see when you talk to our scientists who  
7 will be working in a particular area is--I really believe  
8 it's going to work this well, but then when it gets fed into  
9 the TSPA, some of the conservatism starts to set in a little  
10 bit. We try to keep this separate, focus between a licensing  
11 case and what has always been the value case. You will start  
12 to see in presentations whenever you see the TSPA, curves  
13 out, you'll start to see a footnote on all of those that are  
14 going to say these are our expected value cases. These are  
15 not necessarily what you can sustain in a licensing process.  
16 We're working on that footnote now that appear on all those  
17 curves, so people do not misinterpret those curves.

18           Now, in reality, I will need the real--it will be  
19 less than those expected value curves, for a lot of the  
20 reasons that you see as you walk around. But it's very  
21 difficult when you're looking at basically present day  
22 conditions which are dry, and then you say, well, we're going  
23 to have, when we go into the next ice ages, and that's really  
24 what drives this, is the next ice ages, then how much will it  
25 change, and none of us really know yet, and science will not

1 give conclusive answers on this. So it's natural that you  
2 will find, I believe, that are expected values would be a  
3 little on the conservative side. If they are not a little  
4 bit on the conservative side at this stage in the game, if we  
5 are overstating the case, we will be accused of you are not  
6 telling the whole truth on this. That was biases science.  
7 You're trying to skew this toward site suitability, and then  
8 i think the whole thing starts to come apart. So I think we  
9 are extremely careful in our work that we do not show any  
10 bias for forcing this site to work. So we constantly  
11 internally caution ourselves to be cautiously conservative in  
12 our expected value numbers, because I'd rather err a little  
13 bit on the high side than trying to overstate or dismiss a  
14 theory that would say this is not going to work so well and  
15 it's not a suitable site. So we intentionally have a little  
16 bias, which I think is appropriate. So I am comforted by the  
17 fact that when I walk around and talk to our scientific  
18 community, that they feel it's going to do better, and they  
19 say you're too cautious. I would much rather be cautious and  
20 understate than overstate the ease of this that lies before  
21 us. This is not an easy endeavor.

22 COHON: Dan Bullen?

23 BULLEN: Bullen, Board.

24 Lake, you commented that our Board has encouraged  
25 you to carry along alternative designs and alternatives to

1 the disposal options, but you closed your comments by saying  
2 with adequate funding, you could do these things. Is the  
3 funding adequate next year to carry the alternatives? And do  
4 you see the 350 million or 375 million, depending on which  
5 House appropriation comes through, as adequate to address all  
6 the needs necessary, including the alternatives?

7       BARRETT: Funding is never adequate. It is never, in  
8 this society, there is never the funds available for any  
9 particular endeavor to do what you would like to do. Our  
10 desires and our absolute necessities is where the difference  
11 is. Basically it's about the same number, usable dollars.  
12 If the money in the accelerator work out of Washington, as  
13 far as the Yucca Mountain business, I believe there is  
14 adequate funding to do the basic needs and proceed on as  
15 scheduled. It is not enough to do some of the design work  
16 and some of the things that I would like to do and I believe  
17 the Board would like to be done, but I believe with 350, we  
18 can find something--this was not my first choice, but it's  
19 one that I can live with and it would be an adequate job to  
20 proceed on to support the EIS and support the decisions. So  
21 i believe it will be not what I wanted, not what I desired,  
22 but it will probably be adequate.

23       COHON: Debra Knopman?

24       KNOPMAN: Knopman, Board. Lake, I think it might be  
25 helpful for the Board to hear a little bit more about your

1 view of the concept of defense in depth. We all talk about a  
2 repository strategy that relies on some combination of  
3 natural and engineered barriers, but it would be helpful for  
4 us to know if you have some bounds on what that notion of  
5 defense in depth actually means in terms of relative emphasis  
6 of natural over engineered systems, and how that may change  
7 over time.

8       BARRETT: Okay. Just a little bit, we're all somewhat  
9 formed by our background and our previous experiences. One  
10 of the things I used to do was reactor safety engineering  
11 once upon a time in the dark ages, and I remember lots of  
12 discussion on reactor designs about the primary coolant  
13 system contains the fuel, the fuel can't melt, and then we  
14 put a containment system that assumed the primary system let  
15 go and it did melt, and that this--how much society should  
16 spend on these things, et cetera, and basically--I was in the  
17 Nuclear Regulatory Commission at the time, and we had a  
18 fairly--a defense in depth where you assumed the primary  
19 coolant systems failed and the containment worked, and then  
20 we had stylized models with those calculations, and a whole  
21 process.

22               Then along came Three Mile Island, number two  
23 accident, which I was involved in in response to, and I was  
24 the Director of Cleanup there for four years, and I saw what  
25 happened and I saw the melted core--and here, in a situation

1 where the off site doses were very small in Three Mile  
2 Island, because the containment system worked very good, and  
3 thank goodness to us all that it worked very, very well,  
4 because they basically through almost an incredible scenario  
5 of man and machine and mistakes, basically melted the core.

6           I became very much a believer in the defense in  
7 depth concept of do not put all your eggs in one basket on  
8 anything, because something can go wrong. Now, Murphy's Law  
9 is there. So when it comes--you relate this over to where we  
10 are in the repository, I believe we should strive toward  
11 using engineering features to the best we can. Now, if  
12 that's multiple barriers and different arrangements,  
13 consolidate, not consolidate, which barrier is on the  
14 outside, inside, those things we'll work out as part of the,  
15 I hate to say the word optimization, but with the change in--  
16 work toward the best. But I am a firm believer that we  
17 should not depend on the engineered system, we could put this  
18 anywhere, because some of that stuff may go wrong for reasons  
19 we don't know thousands of years into the future.

20           Natural system is the same thing. You know, we  
21 should spend a lot and look at where we are in the natural  
22 system. I think the Yucca Mountain natural systems are good.  
23 I think there are other sites that have good systems too,  
24 and you don't compare, you know, compare sites. There are no  
25 best sites; no such thing. But I think we need to kind of

1 constantly have a balanced program, balanced between our  
2 natural sciences and the engineering aspects. It is a  
3 constant thing in our budgets as we basically struggle with  
4 not our desired budget, but basically a reasonable budget;  
5 what is the proper balance. We have very spirited debates  
6 and discussions in our family, both the DOE and the  
7 contractor family, of what is that right balance. And this  
8 gets into the defense in depth of trying to have a balanced  
9 program.

10           So I think we do a lot of the, and you'll hear more  
11 from Bob Andrews, we do sensitivity studies, what if it's  
12 wetter, what if it's dryer, what if it's this, and what if  
13 it's that. Dr. Muniz, our Deputy Secretary, asks questions,  
14 well, I don't have a lot of faith--what if there is no outer  
15 containment, what if this, what if the packages fail at X-  
16 thousand years, et cetera, a lot of those sensitivity  
17 studies. I think we should do those, and this goes around  
18 defense in depth, present those to everybody in an open,  
19 transparent program, to see what that is. And, yes, you may  
20 find that doses are tens of millirems, hundreds of millirems,  
21 maybe thousands of millirems under some scenarios out at X-  
22 hundred thousand years, but I think it's--the process of the  
23 higher system, similar to that of the reactor plant.

24           Yeah, you know, the numbers may be this or that,  
25 but we are not really providing an insult to the future

1 generations that is unreasonable, given the risk that today's  
2 society must face and future societies must face, wherever we  
3 are, and not to foreclose options in the design. Because I  
4 believe that technology will either continue forward or it  
5 will decline. It will not stay the same, in my opinion, and  
6 I think we need to compare it to either one of those future  
7 scenarios, and hopefully technology and society will continue  
8 to advance as it has, you know, for the last thousand years  
9 since the dark ages.

10           You know, we should be able to accommodate those  
11 sorts of things in a reasonable way as we go forward. If one  
12 looks at the changes in technology over the last 50 years,  
13 truly the last ten years, you know, we should not be  
14 technologically arrogant as we plan into the future. So I  
15 don't know if I directly addressed your question, but that's  
16 the best I can do.

17           COHON: Norm Christensen?

18           CHRISTENSEN: Thank you, Lake.

19           I want to first of all agree with you  
20 wholeheartedly about the, I'm not sure you put it this way,  
21 but the potential tyranny of precise expectations, and I'm  
22 wondering if in fact this doesn't call for something in the  
23 way of an explicit plan for adaptive learning management that  
24 would be driven by prioritization of key uncertainties,  
25 coupled with an understanding of assumptions that particular

1 protocols or management options make about those  
2 uncertainties. And I wonder in fact if you see that as being  
3 a prominent part of either VA or LA. I think it's, I guess  
4 from my view, really critical, particularly given the  
5 considerable uncertainties that are likely to exist in  
6 certain areas over the next at least few years.

7       BARRETT: I believe we're sort of doing that. We have  
8 not explicitly laid this out in a plan per se, but I think  
9 we'll be discussing later today in some of the technical  
10 discussions. The TSPA work has been a driver and influence  
11 to where we are going, and it is a constant interaction  
12 between the natural sciences, the engineering sciences and  
13 the total system performance. You look at the entire system,  
14 and it's a complex system. And in that, we do a lot of the  
15 sensitivity studies; what if this, what if that. And these  
16 are somewhat geared to the uncertainty. How certain are we  
17 about this factor, be it natural or be it engineering, and  
18 how uncertain are we, and then we do the sensitivity studies  
19 to see what difference does it make.

20               We have found some cases that on a parameter, you  
21 know, we may not know what precisely for many orders of  
22 magnitude, but if you do the upper bound, it doesn't really  
23 matter. So, therefore, we don't spend vital resources much  
24 on it. So we're trying to do that, and the uncertainty is  
25 coupled into those discussions. I think there may be some

1 dialogue and discussion on I think we call it Table 2-4,  
2 which is sort of what the various attributes of the safety  
3 strategy are and when we--you know, high, medium and low. I  
4 know the Board has discussed that, and we have as it steers  
5 the program.

6           So really I believe our program is responsive to  
7 the uncertainty factors as we try to balance these out, and  
8 it's very subjective. I know that our family does that as a  
9 highly qualified core of scientists and engineers who only in  
10 a dialogue together can kind of reach some of the just right  
11 temperature, not too hot, not too cold, just right, and just  
12 right balance on these things. Now, we have not put this  
13 together as sort of an overall management plan along the  
14 lines you mentioned. It's something we will consider doing.

15           COHON: Jeff Wong?

16           WONG: Lake, can you provide the Board with some  
17 comments or your views on the need for and the current status  
18 of the U. S. EPA standard?

19           BARRETT: The EPA standard is specified, that process is  
20 specified by statute, by law. Clearly, one of the things  
21 that is not concluded yet in the United States society is how  
22 good is good enough for how many thousands of years in the  
23 future. Basically the process is set out in the Energy  
24 Policy Act of '92, which says that the National Academy was  
25 to provide guidance. They did that in a report in '95. The

1 next step is the EPA is to prepare an environmental standard,  
2 site specific standard for Yucca Mountain based on that  
3 guidance. It is guidance; it is not, you know, you must do  
4 that.

5           The EPA is in that process of developing that  
6 standard now. Once the EPA standard is completed, the  
7 Nuclear Regulatory Commission will revise their regulations  
8 to incorporate that. That will be I'm told is a new reg.  
9 within the NRC 10 CRF 63, and then that is what we will be  
10 measured against. You must demonstrate you are that good if  
11 you are to proceed with this endeavor.

12           So the EPA standard is really the central part of  
13 what is how good is good enough for environmental protection  
14 for X-thousand years in the future. That is under way by the  
15 EPA. They have had hearings. They have received input.  
16 They have received input from DOE, from the Board and from  
17 many others as well, and they are considering that and they  
18 are working on a standard that would be submitted to the OMB  
19 for the formal inter-agency review process, which is  
20 established under Presidential Executive orders. They have  
21 not yet done that. I know that they are working on it.

22           We are in dialogue with various folks as to what is  
23 the current state of technology, what technology can and  
24 cannot do, and then they will have to do the subjective, how  
25 good is good enough, protecting future generations as well as

1 current generations to try to go forward and make those  
2 national policy judgments, and they're working on it and  
3 they're working on it diligently. Exactly when that will  
4 happen, I do not know. That is really controlled by the EPA,  
5 as it should be, and it will be submitted to inter-agency  
6 review when the EPA is ready. That's about all I can say and  
7 know.

8 COHON: Lake, I have a brief comment and question.

9 I was pleased to hear you use the word suitability  
10 so many times in your statement and referred to the necessity  
11 of that step where the Secretary may recommend to the  
12 President the site. There is a tendency, an understandable  
13 one, for the program to focus on LA as the milestone, and  
14 when that happens, there's a tendency by, I'll speak for  
15 myself, not for the whole Board here, to infer that the  
16 program is not paying sufficient attention to suitability  
17 which must be attained on the way to LA. I don't mean to  
18 make you repeat yourself, but I'm going to ask you to repeat  
19 yourself just to expand on that a bit about the importance of  
20 suitability and the necessity of passing through it on its  
21 way to LA.

22 BARRETT: Thank you. That's an excellent question and  
23 I'm glad you asked that.

24 This is--an understandable thing will happen in  
25 basing a work plan, and it goes something like this. Where I

1 sit and live, the next important piece of business is get the  
2 EISs done. Okay? And those are really secondary, but  
3 important documents. The big issue will be implementing 10  
4 CFR 960, which will say this is a suitable site and here is  
5 the technical basis for it. That will go to the Secretary.  
6 If the Secretary at that time believes that is done properly,  
7 the Secretary may conclude that the mountain is not suitable.  
8 Based on what I know so far scientifically, I don't see  
9 that, but it could. Okay? Especially when one doesn't know  
10 what the EPA standard is in the NRC regs, which is a  
11 determining factor in the suitability of the site, regardless  
12 of the existing 960 or proposed 960. It doesn't matter.  
13 That's still the essential part. Then if it's suitable, then  
14 there's the political process happens and then you go to the  
15 LA shortly thereafter.

16           Now, in planning--that's how I see it. So, the  
17 next important thing is going to be that site suitability  
18 decision. Now, if you go and talk to a scientist or an  
19 engineer who's working out here diligently at Yucca Mountain,  
20 what are they really thinking about? Well, they are looking  
21 at planning the technical work, the scientific work and the  
22 engineering work. What drives that is not an etherial thing  
23 called suitability decision. What really drives that are the  
24 technical precursors that are necessary for that. Well, what  
25 is the most important drive in one of those? It's the LA.

1 Because one of the parts of the site recommendation is a  
2 letter from--and this is in the statute of '82--is a letter  
3 from the Chairman of the Nuclear Regulatory Commission that  
4 says I have reviewed the technical work that the Department  
5 of Energy is ready to submit to the President, and I have  
6 concluded or I have found, I forget exactly what the word is,  
7 that the technical work is sufficient for a license  
8 application. And that's necessary in the suitability.

9           Now, we all know the core of this is really the  
10 scientific suitability, and that really is a judgment very  
11 heavily weighted by the Nuclear Regulatory Commission's views  
12 that that is sufficient for a license application. It will  
13 be heavily weighted by the views of this Board. It will be  
14 heavily weighted by the views of the governor of Nevada and  
15 all the various parties as well at that time. So when it  
16 comes time to really planning the work, how much engineering  
17 work, alternative work versus natural science, you know, they  
18 all look really to that LA.

19           So I am not disturbed when I hear all the Yucca  
20 Mountain folks never say the word suitability and say with  
21 the LA, we've got to do this or we have to do that, and the  
22 balance of this, to me that's comforting. It doesn't bother  
23 me at all. We are now, as part of the--now, the VA has been  
24 our focal point, and appropriately so, and I don't want to  
25 overload the system by saying I want you thinking about the

1 next thing. This is sort of like, it's not football season,  
2 but I use the football analogy, we are a team in the Super  
3 Bowl running, we made the playoffs. Okay? The first game  
4 you've got to play is the wild card if you're the wild card  
5 team, and you must win that. If you don't win that, you're  
6 out. Okay? That to me is the viability assessment, is the  
7 wild card playoff.

8           Now, if you win that, then you go to the next game.  
9 The next game would be the division championship. That to  
10 me is the site suitability. The game after that is the  
11 conference championship. Okay? That really is the LA. And  
12 then the real Super Bowl is the construction authorization.  
13 In LA, you were successfully brought through the completion,  
14 and you cannot overlook the next game, so you cannot be  
15 looking to the LA all the time. You need to look at  
16 suitability is really the next game. So you have to kind of  
17 watch this thing and get the team on the right balance. But  
18 I don't try to influence the technical side of the house too  
19 much to say suitability is the next game, team, we are now  
20 going to start doing that, because I did not want to detract  
21 from the game right now, the viability assessment. Because  
22 if that's not a sound state of the art unbiased scientific  
23 technical document, it's over. And I believe it's going to  
24 be exactly what we've said it's going to be, and then we're  
25 going to move on. So I believe you will find more talks from

1 the family, we'll say, a little more suitability, but not too  
2 much, but it's still the basic technical engineering work,  
3 scientific work is primarily driven by the LA work.

4 COHON: Thank you. That's very helpful. I'm trying to  
5 decide if the Board is the people in the striped shirts or  
6 the football.

7 BARRETT: When we figure that out, we'll let you know.  
8 It's the folks with the zebra shirts, if they don't make the  
9 right call, and Debra is set for the game.

10 COHON: We might just adopt this as our standard  
11 business.

12 Lake, thank you very much for a very useful and  
13 helpful presentation. We appreciate it.

14 BARRETT: Thank you very much.

15 COHON: I'm pleased to inform everybody that we now have  
16 in hand a hard copy of the White House press release  
17 announcing Dr. Runnells' appointment as a member of the  
18 Board, and we're delighted.

19 I now call on Russ Dyer, Project Manager. This is  
20 our first opportunity, it's our first Board meeting since  
21 Russ's appointment as Project Manager, so it gives us an  
22 opportunity to say congratulations and welcome to the job.

23 Russ is going to talk about repository safety  
24 strategy.

25 DYER: Thank you very much, Dr. Cohon.

1           I'm doing sort of two functions today; one is the  
2 technological guinea pig, because we're going to try  
3 something new. We're going to try an electronic power point  
4 presentation here. But in the spirit of defense in depth, we  
5 have printouts on the back table in the back.

6           And the second role I have is the opening act, as  
7 they say here in Las Vegas, for the project presentations to  
8 follow. What I'm going to try to do is set the context for  
9 these following presentations, and in the course of that,  
10 give a--I'm going to revisit a little old history to talk  
11 about some of the things that have gone before that led to  
12 where we are now.

13          As manager of the project, there's two questions  
14 that continually run through my mind, and I suggest they  
15 should run through your mind, too. Is the project focused on  
16 the right things, not just are we doing things right, but are  
17 we doing the right things? And secondly, how much is enough?  
18 And what I'm going to do is set the stage for using that as  
19 a theme or dialogue and the following talks are going to  
20 expand on that theme and try to give us a basis for a  
21 conversation and dialogue along those lines.

22          The management of the program priorities continues  
23 to be based on strategy to protect public health and safety.  
24 That strategy has evolved somewhat with time. I'm going to  
25 go back and revisit some of the early concepts. The

1 framework that we're using now is the repository safety  
2 strategy, and we'll have Bob Andrews, Jack Bailey talk about  
3 that in considerably more detail than myself, but it provides  
4 a framework for the integration of site information,  
5 repository design and assessment of postclosure performance.

6           Now, one of the things that I want to point out is  
7 that over the course of time, and I'm going to start in 1988  
8 with the site characterization plan, which some of you may  
9 remember, this is Volume 4 of the site characterization plan,  
10 which starts the delineation of activities that would need to  
11 be--potential activities that would test hypothesis for  
12 different parts of the natural system that would provide us  
13 information regarding the characteristics, the processes, and  
14 information that could feed into design as part of the site  
15 characterization plan.

16           There were tables of hypotheses in there, and  
17 although there were favored hypothesis, the testing program  
18 was laid out such that we were going to systematically go  
19 through and evaluate literally every hypothesis, every  
20 alternative hypothesis that we could as part of the testing  
21 program to make sure that we had a complete and defensible  
22 path forward as we moved into the suitability and licensing  
23 arena.

24           It became obvious early on that this was such an  
25 incredibly optimistic program, the resources it would take to

1 do this were beyond what was realistically feasible, so we  
2 need to prioritize the program. This actually gets to one of  
3 Dr. Christensen's questions, how do you systematically go  
4 through and prioritize the program. In the early days, one  
5 of the first things we did was a thing called the test  
6 prioritization task force, March 1991. This was driven in  
7 large part by demands of the program to take the massive  
8 information, massive opportunities in the site  
9 characterization plan, and put some prioritization on it.  
10 And the priorities that we--what we used for filtering  
11 priorities in the testing program at that time was our  
12 evaluation using a formal decision analysis expert judgment  
13 process of the ability of tests to detect potentially  
14 unsuitable conditions for a nuclear waste repository, using  
15 the criteria of 960.

16           That gave way over time to something a little more  
17 structured and formal, a much more formalized decision  
18 analysis process, gave rise to the integrated test  
19 evaluation. This is from February, 1994, where again we went  
20 through rank order tests--tests, I'll emphasize that  
21 repeatedly--based on an evolving understanding of what the  
22 criteria for prioritization should be.

23           Now, one thing that we've consistently come up with  
24 over time is struggling with how one incorporates and  
25 includes design in this. Is design an input or an output?

1 And in the current repository safety strategy, it's both.  
2 And we'll let Jack Bailey and Mike Voegele talk to you about  
3 that.

4           The SCP strategy for allocating performance across  
5 the system elements, both natural and engineered systems,  
6 yes, we recognize that if you concentrate on a few features,  
7 you could reduce the cost of the program, but initially we  
8 thought that was perhaps not the most conservative way to go,  
9 so we started out looking very broadly across the board, but  
10 we were forced very quickly into prioritizing the program.

11           In the integrated test evaluation, which was  
12 focused again primarily on postclosure performance  
13 assessment, we found that there were other reasons that one  
14 would allocate resources for a particular test or program  
15 beyond just sensitivity in a total system performance  
16 assessment. Was it something that perhaps what we would call  
17 the unknown unknown, something that would help us detect the  
18 unsuitable site conditions? Was it something needed to  
19 demonstrate regulatory compliance, but it isn't captured in a  
20 TSPA model? Is it something needed to build scientific  
21 confidence, but again, it doesn't rate real high in the TSPA  
22 sensitivity analysis? Something needed to build constituent  
23 confidence, support other tests, or provide design  
24 information? And at this time, again, this was a  
25 prioritization for the testing program. We still hadn't

1 found a good way to incorporate design efforts into the  
2 overall prioritization effort.

3           The repository safety strategy that we're dealing  
4 with now, and Bob Andrews will take you through the TSPA view  
5 of this vision of the system with both natural and man made  
6 components of the system, walk you through the elements of  
7 the total system performance assessment, whether they be  
8 contributions or potential contributions from either the  
9 natural elements or the man made elements. Mike Voegele will  
10 talk about some of the potential design alternatives and  
11 options that exist within the design arena, and then Jack  
12 Bailey is going to take you through the critical elements of  
13 the system attributes as broken out, and talk about in our  
14 current vision, which of these are important, which are  
15 important in the concept of sensitivity analysis, which do  
16 TSPA sensitivity runs suggest are some of the most critical  
17 variables, what's our state of knowledge and how much more do  
18 we think we need to know. That's a strong step forward  
19 toward providing a prioritization to the program.

20           As I cautioned earlier, though, postclosure  
21 performance assessment cannot be the only criteria for  
22 allocating resources in the program. We have other demands  
23 that must be met, such as a preclosure repository safety case  
24 must also be made. That must also be accommodated by the  
25 activities of the project.

1           The viability assessment, the work that we're doing  
2 in the viability assessment sets the stage for this, because  
3 this is the first time we've taken and integrated a lot of  
4 data, I'll call it, from both engineering and the science  
5 world, come up with a synthesis and evaluations of an  
6 integrated approach to a repository system, using that to  
7 identify where our strengths and weaknesses are, and the work  
8 plans that come out of the viability assessment should  
9 identify those things that need to be done to move forward,  
10 as Lake said, to the next game that we have on the schedule.

11           And on the schedule, moving into the site  
12 recommendation, Jean Younker will talk to you about work that  
13 is needed to complete site recommendation and the license  
14 application, and then Wendy Dixon will talk to you about the  
15 environmental impact statement, some of the precepts behind  
16 the alternatives selected for the environmental impact  
17 statement.

18           The schedule cannot be sacred. It's not carved in  
19 stone. But we need to have, if the schedule needs to be  
20 changed, there must be a compelling reason to change the  
21 schedule.

22           In summary, as Lake pointed out, there's a lot of  
23 activity going on, dialogue regarding national policy about  
24 repository program versus storage, but as that dialogue goes  
25 on and continues to evolve, Yucca Mountain project remains

1 focused on our charter of site characterization and meeting  
2 the major program milestones, viability assessment, the  
3 environmental impact statement, the site recommendation, LA  
4 and on from there.

5           The focus that we have is on technical progress  
6 through sound science and engineering, developing a  
7 defensible safety strategy, that is an evolutionary process,  
8 it's not a one-time shot, and resolution of technical issues.

9           With that, I'm going to try to turn this off, if I  
10 can, and take any questions that you might have of me.

11          COHON: Thank you very much, Russ. That was a very  
12 effective introduction and a very useful way to put in  
13 context the presentations to come. We appreciate the  
14 preparation and thought that went into that. Priscilla  
15 Nelson?

16          NELSON: Nelson, Board. Good morning, Russ.

17          DYER: Good morning.

18          NELSON: I have a question. I tend very often to be  
19 focused towards a time period that I can immediately relate  
20 to, which is, by definition, preclosure, and I want to  
21 understand exactly what approach is being taken towards, or  
22 what criteria are being used to consider retrievability, that  
23 preclosure period? What assurance or ease of retrievability  
24 is being considered in terms of the construction aspects, the  
25 actual making of the emplacement drifts? Is there any way of

1 characterizing that? Is it easy retrievability? What does  
2 that mean? Or is there a tradeoff analysis underway in terms  
3 of different kinds of construction components, making  
4 something more easily or more certainly retrievable?

5 DYER: That's one I'm going to defer probably to either  
6 Jack of mike. Retrievability of course comes in as a design  
7 in part through 10 CFR 60 requirements. But retrievability,  
8 you're absolutely right, there's a tradeoff. How easy do you  
9 want it to be and for how long? Ultimately, one can say yes,  
10 it's retrievable if you mine out the entire mountain perhaps.  
11 That's one end member of a concept for retrievability. But  
12 the other end member would be to have perpetual care  
13 underground perhaps, where it would be very easy to break  
14 things out. And there's a tradeoff in cost and scope that  
15 will be worked out as we go through design, go through the  
16 design process.

17 NELSON: Will that philosophy be discussed in the VA?

18 DYER: The design will talk about retrievability. I'm  
19 not sure to what degree Volume 2 addresses design. Can  
20 somebody help me here?

21 COHON: Or as an alternative, Priscilla, if it's  
22 acceptable to you, we could defer this until we get to the  
23 design discussions.

24 NELSON: That's fine.

25 DYER: Okay. Paul Harrington stood up. Paul?

1           HARRINGTON: Paul Harrington, DOE. Volume 2 does talk  
2 about retrievability. And to answer your earlier question,  
3 we would characterize it as fairly simple in the preclosure  
4 phase. It's just a reverse of the emplacement process, and  
5 we made the system robust enough we believe to facilitate  
6 relatively easy retrieval, if there were a VBE event of some  
7 sort like rock fall, ground support failure. We would expect  
8 to be able to go in and mine that out, retrieve the packages.

9           COHON: Okay. But we may pursue it again further later  
10 today. Dan Bullen?

11          BULLEN: Bullen, Board.

12                 Russ, in your schedule that you showed us, you  
13 talked about the identification of design alternatives, and  
14 then less than a year, or almost a year later, the  
15 identification of the VA design alternatives versus the LA  
16 design alternatives. In light of the comments that Lake had  
17 made about budget, do you feel that your program has the  
18 flexibility to adequately evaluate those design alternatives  
19 in that time frame, and to come up with a proposed design,  
20 you know, at the end of Fiscal 2000?

21          DYER: We'll see how the budget plays out. What we  
22 submitted, if we get the resources that we have requested,  
23 yeah, probably so, I mean, assuming that we have no big  
24 surprises along the way.

25          COHON: Dick Parizek?

1           PARIZEK: Yeah, Parizek, Board.

2                   I'm looking at Viewgraph 5, and it's the chain, the  
3 links of the chain, putting all these pieces together. In  
4 terms of trying to prioritize work, there's internal  
5 judgments as to how far to go with different issues in this  
6 chain. Something like constituent confidence on the other  
7 hand is sort of the perception of the outside world's view of  
8 this. How do you get the input from the outside world?  
9 Because we see considerable resistance to the whole nuclear  
10 industry, and that's constituents I would regard, and so I  
11 say how do you take the input from the public, as an example,  
12 and say that we're doing adequate work to meet their needs?

13           DYER: The model that was used was almost a multi-  
14 attribute analysis, and each of those factors were weighted,  
15 and we went through the panel and asked them how much should  
16 this be weighted. They were not evenly weighted. That one I  
17 would have to go back and look at the actual report. But it  
18 is obviously a variable. It changes with time and it changes  
19 with your position, whether you're inside or outside.

20           PARIZEK: It's a floater really, because it's dynamic?

21           DYER: Yes.

22           PARIZEK: You could have new input at any time in the  
23 future, too, for that matter.

24           DYER: Oh, yes. Yes.

25           COHON: Debra Knopman?

1           KNOPMAN: Knopman, Board.

2           Russ, could you say a little bit about when we were  
3 talking about--you talked a little bit about almost like an  
4 adaptive management strategy as well, to some extent. What  
5 would be the level of or the kind of scientific program that  
6 you would want to see maintained even as we proceed through,  
7 assuming there is a license application, and even moving  
8 beyond that to a construction authorization, what is the kind  
9 of scientific program that the program would like to see to  
10 continue to support activities at the site? Or do you  
11 envision the scientific work closing out?

12          DYER: I think there is--many of the activities that are  
13 carried under the umbrella of the scientific program now will  
14 come to a natural end, because they will have done the  
15 characterization, provided the data or information that's  
16 needed. There may be some--there will be some activities  
17 that must continue, some monitoring activities that will  
18 continue on. There may be, as time goes by, we may identify  
19 new uncertainties that need to be addressed. I don't know  
20 what those may be, but we've got to be flexible enough to be  
21 able to investigate to resolve those uncertainties as they  
22 arise.

23          KNOPMAN: So the answer is that you will maintain some  
24 core, some level of core scientific expertise even as you  
25 move past LA?

1           DYER: Oh, yes, there will be something in the program.  
2 It may not be--it almost certainly will not be as large as  
3 the level of effort now, and it may be much more focused on  
4 particular activities. But there will always be some level  
5 as part of the program.

6           COHON: Lake Barrett?

7           BARRETT: Lake Barrett, DOE. Let me mention something  
8 that we have under consideration in our long-term planning  
9 along the line of Debra's good question, and at some point,  
10 the Board may have a view and I'd appreciate the Board's view  
11 if they have one at some point. From the last meeting, I  
12 think it was, we talked about our plans for a monitored  
13 geologic repository. So once we've loaded it, you go into  
14 sort of a monitoring condition, and then future society will  
15 decide do you want to seal it up, or do you want to continue  
16 monitoring it to maybe address uncertainties, whatever they  
17 may be. What entity should have sort of the proper  
18 scientific expertise at that time to make that ultimate  
19 decision that we should seal it or we should continue to  
20 monitor it?

21                   We have a vision of how that ought to go, and I  
22 believe in sort of federalism, that it really starts, you  
23 know, locally and then grows toward the national. I would  
24 submit that the best organization to probably do that would  
25 be something like if we had a Yucca Mountain repository now,

1 this assumes everything went that way, that it would be sort  
2 of the Nevada University System in its broader sense would  
3 basically have the expertise, who is probably closest to the  
4 people in Nevada, who would most likely be involved in this,  
5 in the decision it should or should not be sealed. I mean,  
6 the people down gradient, you know, from Yucca Mountain, et  
7 cetera, who really should be the ones who have the greatest  
8 decision making on it, not somebody who rests in Washington,  
9 like it presently is at this point.

10           So we have worked some degree with the University  
11 System before, but as we would move into the performance  
12 confirmation, once we basically as the applicant in this case  
13 has gathered the information for the licensing case, done the  
14 verification, there should be a turnover of the scientific  
15 expertise to the University System, and the University  
16 System, if you were to look at after the last canisters are  
17 loaded, where is the majority of the scientific expertise, 90  
18 plus per cent of that expertise I would submit should rest  
19 with the Nevadans, and they would decide at that point, as  
20 opposed today, it is 95 per cent federal and a small  
21 percentage goes to the Nevadans. But there should be a  
22 transition of the scientific expertise. We'll be hearing  
23 later from Nye County, who has a very good scientific program  
24 at this point, but that could grow and also in conjunction  
25 with the state. I believe it's a little premature at this

1 stage of the game when the site has not been determined to be  
2 the site for a repository or not, it's premature to get into  
3 that. But there are some points we are, you know, working  
4 toward that end, toward moving that way, and it sort of is a  
5 policy philosophy type of thing that the Board may have views  
6 on that at some future time.

7 COHON: Thank you. I'd like to indulge myself here in  
8 some philosophy, as a matter of fact, but an important  
9 philosophical discussion, Russ. First of all, just a comment  
10 which relates to the discussion I'd like to enter into. In  
11 reviewing the sort of historical context for how the program  
12 has prioritized studies in the past, you refer to the '91  
13 study, or approach to analyzing this, and the focus there you  
14 said was the potential of studies to detect unsuitability,  
15 which is very interesting. That's quite different from  
16 establishing suitability.

17 DYER: Yes.

18 COHON: The absence of unsuitability does not imply the  
19 existence of suitability?

20 DYER: Correct.

21 COHON: That's the philosophy part of this. We've made  
22 that shift and we're now focused on, as Lake pointed out  
23 earlier, the establishment of suitability.

24 Later on on your Slide 4, you referred to  
25 performance allocation, which is an interesting concept, and

1 I hadn't heard it put that way before. Could you elaborate  
2 on what you mean by that?

3         DYER: Jack Bailey is going to spend a lot of time on  
4 this. Since the days of the site characterization plan, in  
5 any system if you try to figure out which parts of the system  
6 you're going to depend on for performance, you allocate--you  
7 can allocate performance to those system elements. What  
8 makes a repository system incredibly challenging to allocate  
9 performance through is that you're only designing part of the  
10 system. There is--the entire natural part of the system is  
11 as nature made it. So what elements of performance can you  
12 really depend on the natural system to deliver to your  
13 overall system performance? And that has been the challenge  
14 that we have had, is trying to understand, and the question  
15 earlier that Lake answered so ably, trying to understand  
16 enough about the characteristics, processes, not just now but  
17 probably processes operative in the future of the natural  
18 system, and how can you competently incorporate those in an  
19 estimate of overall system performance.

20                 We've had an ongoing effort to try to make this  
21 overall performance allocation of the repository system.  
22 This is one of the first efforts I've seen that really goes  
23 and tried to put in and merge both the engineered and the man  
24 made system and look at a repository system allocation of  
25 performance. It is an absolutely critical concept.

1 COHON: Agreed, and I find it very helpful. At this  
2 stage, the question before the program, and the question that  
3 the Board has discussed at length, is given limited time and  
4 limited resources, how best to invest those resources over  
5 the next two to three years so that you're in some sense the  
6 best position possible to say something definitive about  
7 Yucca Mountain and its suitability? And that raises the  
8 question of what criterion or criteria should you use to make  
9 those decisions?

10 Now, performance is an interesting one, and I  
11 haven't heard it put that way before. I think many members  
12 of the Board when they think about this think in terms of we  
13 know that the situation is uncertain in the formal definition  
14 of uncertainty, and it will remain so, and the question is  
15 how much can we reduce that uncertainty between now and the  
16 time you've got to make a recommendation to the Secretary, so  
17 that uncertainty reduction becomes a criterion for deciding  
18 how to allocate resources?

19 DYER: Absolutely.

20 COHON: But that sounds somewhat different from  
21 performance allocation, although the TSPA context of course  
22 gives you a way to estimate, to quantify uncertainty and  
23 contribution of any sub-system to that overall uncertainty.  
24 But it sounds to me like performance has a somewhat different  
25 connotation than uncertainty reduction.

1           DYER: It provides the context or framework for--I'm  
2 going to start Jack's talk here.

3           COHON: I didn't mean to get ahead.

4           DYER: No, let me go ahead and set the stage. If you  
5 take your vision or model of the system, dis-aggregate it  
6 into system elements or processes, and then partition  
7 performance, or allocate performance across those system  
8 elements--

9           COHON: Will performance in this sense in this case mean  
10 contributions to uncertainty?

11          DYER: Contributions to the overall system performance,  
12 with some uncertainty on that. There will be some  
13 uncertainty. And then you do another screen through to get  
14 to where I need to be, how much do I need to reduce the  
15 uncertainty, and given the programmatic limitations, whether  
16 they be schedule, budget or physical reality, what's the  
17 likelihood that I can meet that needed reduction on  
18 uncertainty, and if I can't, what's Plan B, what's the  
19 alternate. What's an alternate way through this? Can I  
20 restack the allocation for performance and system elements  
21 some other way and meet my end objective?

22          COHON: Okay. Well, we agree we've set the stage for  
23 more discussion. That's very useful. Thank you very much,  
24 Russ, and thank you for your presentation.

25                   We'll turn now to Bob Andrews, Manager of

1 Performance Assessment Operations. Mr. Andrews?

2       ANDREWS: Okay, technical difficulty. Russ turned the  
3 machine off and we have to turn it back on again.

4               Just as an introductory comment, we've given this  
5 presentation, or an earlier version of it, to the PA Panel in  
6 the middle of April down in Albuquerque, and I think the PA  
7 Panel thought it was worthwhile for the whole Board to hear a  
8 walk-through of what the total system performance assessment  
9 and the viability assessment looks like, the bases for it,  
10 the results, the sensitivity studies, with a little focus on  
11 the design sensitivity options that have been evaluated as  
12 part of the viability assessment.

13               What I'm going to do is very quickly walk through  
14 the components of the system. I will walk even quicker  
15 through those components of the system that have been the  
16 focus of individual Board meetings. For example, last  
17 summer, the Board focused a day on the unsaturated zone  
18 hydrology, including the Expert Elicitation that was  
19 conducted for the unsaturated zone hydrology. We presented  
20 at that time the bases for what we were using in average flow  
21 through the system, and I think there was a lot of good  
22 discussion of that.

23               We discussed last I believe fall sometime the waste  
24 package degradation models as they existed at that time.  
25 They revised a little bit subsequent to that meeting of the

1 Board. I think some of the Expert Elicitation Panel members  
2 were also at that meeting with the Board, so I will walk  
3 relatively quickly through that component of the total system  
4 performance assessment.

5           Finally, in January, the Board had a full Board, I  
6 think a full Board meeting, not a panel meeting, had a  
7 discussion of the saturated zone. We were in Amargosa Valley  
8 and discussed the basis for the saturated zone, the current  
9 understanding of the saturated zone, where the water goes,  
10 how much water is moving, and a discussion of the bases at  
11 that time anyway for how we intended to incorporate the  
12 saturated zone models into the total system performance  
13 assessment.

14           Based on in part some of the expert judgments in  
15 the Expert Elicitation on the saturated zone, our saturated  
16 zone modelling changed after that particular Board meeting.  
17 So I will walk through a little bit of those changes. So  
18 let's go ahead.

19           That's our outline. It would be remiss for me not  
20 to say there's a lot of people involved in pulling together a  
21 total system performance assessment. There's a lot of  
22 performance assessment sort of people, and there's also a lot  
23 of designers, a lot of the scientific community who are the  
24 underpinnings for the models, assumptions, bases, et cetera,  
25 of what goes into our current understanding of the repository

1 system and the natural system.

2           What I have on this slide, and we'll walk through  
3 each one of these in more detail in subsequent slides, are  
4 the individual components of the repository system. These  
5 components are divided up by the four major attributes that  
6 Russ described, plus one other attribute which relates to  
7 disruptive processes, features and events.

8           This table was a useful way of showing a  
9 correlation between the principal repository safety  
10 attributes which have been described earlier in DOE  
11 repository safety strategy in January, and earlier last year.  
12 That repository safety strategy is being revised as part of  
13 the viability assessment. But those four attributes remain.  
14 Those still are the key attributes. Those correlate into  
15 principal factors and model components, and those model  
16 components are the Icons, if you will, in the previous chart,  
17 and we'll walk through each one of those in some level of  
18 detail, obviously fairly quick in the time that we have.

19           The last column shows a correlation of those to  
20 NRC's way of how they are going to evaluate ultimately the  
21 DOE's progress in getting to a license application. Shown  
22 there are the six that have a direct correlation. There's  
23 one that's an overlying one, which is TSPA and integration,  
24 key technical issue, which is clearly all of what we're doing  
25 revolves around that. Two others relate to disruptive

1 events, one volcanism and one seismicity, and the last one,  
2 the last NRC key technical issue relates to their development  
3 of 10 CRF, Part 63. So it doesn't, although it uses  
4 performance assessment, it's not directly correlated to the  
5 components that we're going to walk through.

6           Just to refresh the Board memory, I'll quickly go  
7 through this, what is the reference repository design,  
8 because this is the bases for most of the analyses in the  
9 TSPA, is the performance of the reference repository design  
10 and the uncertainty in the performance of that reference  
11 repository design.

12           Reference repository design is 70,000 metric tons.  
13 It's packages placed in the drift, nothing else in the drift  
14 except the packages placed on pedestals, placed on an invert.

15           We have three different waste package types, based  
16 on three different types of fuel and other waste that are  
17 being disposed, but the basic design is 10 centimeters of  
18 outer barrier of a carbon steel, and two centimeters of high  
19 corrosion resistant C-22.

20           This just shows the relationship of the different  
21 types of waste forms that we've included in the TSPA; first,  
22 the commercial spent fuel, 99 per cent of which has zircaloy  
23 cladding, then the high level waste glass, then the DOE own  
24 spent fuel, including the Naval fuel, and in addition to  
25 that, we have the plutonium, immobilized plutonium in the

1 inventory.

2           So let's just walk through the system. First, we  
3 have--and I'm going to walk through it more or less as water  
4 moving through the system, because water ends up being the  
5 principal means by which the engineering system potentially  
6 is degraded and water is the principal means by which  
7 radionuclides are mobilized and water is the principal means  
8 by which they ultimately could be transported to any point  
9 down gradient. So I'll start with water. First a conceptual  
10 picture of water movement, infiltration at the surface,  
11 percolation down to the repository horizon, ultimately the  
12 potential for seepage into drifts and potentially contacting  
13 waste packages.

14           So we first have precipitation before we even get  
15 to infiltration. For precipitation, we recognize that  
16 there's a change, or there will be a change in average  
17 precipitation and climate as a function of time. It's quite  
18 uncertain of when and how much, but the general estimates of  
19 amount of change are about a factor of two change in present  
20 day precipitation over some time, that change would occur  
21 over the next 10,000 years, and then a change in three to  
22 very long-term central changes. We've called those changes  
23 in three super pluvials, and the changes in two, long-term  
24 average. So this is for a single realization case, which is  
25 a set of results I'll show you, the climate change and the

1 magnitude of the climate change that's being considered.  
2 It's a stair step thing, maybe it could be gradual, you know,  
3 science isn't sure, but this is one representation of how  
4 climate could change.

5           Because of that, there's a change in infiltration  
6 corresponding to those three precipitations. The present day  
7 is shown in the upper left-hand corner, averages about 7  
8 millimeters per year. That's fairly well bounded by a lot of  
9 information from neutron holes and also the percolation flux  
10 estimates at depths sort of bound that number reasonably  
11 well. Just a blow-up of that, this was presented to the  
12 Board last summer so I think I can go through it.

13           The long-term average, of course we have no  
14 observations of what would be the potential infiltration  
15 change as a function of time, so we've used the same  
16 representation, the same model in the present day, and this  
17 extrapolated it to changes in precipitation yielding changes  
18 in net infiltration. And the same thing for the super  
19 pluvial.

20           Just to give one a sense, the long-term average is  
21 kind of like Santa Fe climate, and the super pluvial is sort  
22 of like Los Alamos type climate, I think as Dr. Craig pointed  
23 out.

24           Once we take the infiltration, now we have to bring  
25 that water down to a repository depth. That, in the

1 vernacular, is called percolation. So the average amount of  
2 water moving through a cross-sectional area of the repository  
3 shown here is the present day percolation flux map, and what  
4 we have done is acknowledged that it's spatially variable.  
5 These are the results coming from a model view. There is no  
6 percolation flux meter. I think it's important to point out  
7 there's a lot of ways to get at percolation flux looking at  
8 temperatures, looking at chlorides, looking at other indirect  
9 observations that lead one to an average amount of water  
10 moving through a cross-section of rock, but these are  
11 illustrating the spatial distribution of percolation flux.

12           One thing to point out is essentially the  
13 infiltration equals the percolation. There's a slight  
14 redistribution, but the volumes of water, there's no dramatic  
15 shedding of water away from the system once it's infiltrated  
16 into the system.

17           The next component is seepage. Again, there are  
18 currently no direct observations of seepage into any of the  
19 ESF drifts in the tunnel under ambient conditions. You turn  
20 off ventilation, the humidity increases in the drift, but  
21 there's still no observed seepage. The only way they can get  
22 seepage is to force water in. So what we have done is  
23 develop a model of seepage that's being driven by the  
24 fracture characteristics of the rock and being driven by the  
25 amount of water which moves through the rock, i.e.

1 percolation.

2           So just blowing up the lower left-hand corner, we  
3 have a relationship essentially between percolation flux and  
4 the average per cent of drifts or average per cent of waste  
5 packages that could be contacted by seeps. That is shown  
6 here. As you can see, it's incredibly uncertain. This is  
7 showing the range of possibilities of seepage, given a  
8 certain percolation flux.

9           You can see at the present day percolation flux  
10 averaging in the 7 millimeters per year range, the expected  
11 value is about 5 per cent of the packages one would expect to  
12 see seeps.

13           Why the wide uncertainty is because there's very  
14 uncertain fracture characteristics. We do have some fracture  
15 permeability observations, but there's no direct observations  
16 of fracture suction or fracture capillarity, and that drives  
17 this uncertainty in the seepage.

18           So you see here is the range of seepage. Because  
19 climate changes, because infiltration changes, because  
20 percolation changes, seepage changes as a function of time.

21           The same thing is true of seepage amount. So the  
22 volumetric flow of water that could contact a waste package,  
23 given that there was a seep, looks something like this. So  
24 you can see it's for the long-term average, it's on the order  
25 of 300 liters per year. That's like a drip every few

1 minutes, just to give you a rough indication.

2           The next thing we have, though, is we place the  
3 packages, so we have heat. Heat drives off moisture in the  
4 fractures. Moisture can come back in through the matrix and  
5 can be driven around through those fractures for a certain  
6 period of time. Of significance to us is both the  
7 temperature and the relative humidity in the drift that is in  
8 contact with the waste package. And because I have  
9 percolation variability, I have thermal variability. And  
10 because I have variability in different heat outputs of  
11 different packages, I have thermal variability. So this is  
12 showing for one particular region of the entire system, the  
13 predicted thermal variability at the package surface. It's a  
14 little warmer, it's about 70 or 80 degrees warmer at the  
15 center of the package than it is, especially for commercial  
16 waste, which these are representing.

17           Humidity is shown here. So you see the humidity is  
18 low for a period of time. Critical humidity is more or less  
19 in the 70 or 80 per cent range, and that is humidity at which  
20 carbon steel would start to degrade.

21           Alberto, you have a question?

22           SAGÜÉS: What is the meaning of the different colored  
23 curves?

24           ANDREWS: The different colored curves on here are  
25 showing package to package variability. We modelled some

1 high heat output commercial packages, some medium heat output  
2 commercial packages, and some low heat output defense and DOE  
3 owned spent fuel packages. So we have package to package  
4 variability of heat output along a drift segment, and this is  
5 capturing or trying to capture what is that degree of  
6 variability.

7 SAGÜÉS: This is along a given drift segment; not along  
8 the entire repository? So the lowest curve doesn't show the  
9 lowest possible in the entire repository, just in a chosen  
10 example?

11 ANDREWS: Exactly. This is one region. We had six  
12 regions. We did six regions to try to capture the  
13 variability in flux and the variability in the hydrologic  
14 processes, which also drive the variability in thermal  
15 hydrologic response of the system.

16 Now coming into the next major attribute of the  
17 system, the waste package lifetime, the components that drive  
18 that are first thermal hydrology, which we've already talked  
19 about, the near-field chemistry, and then the waste package  
20 degradation itself.

21 So given that we've already talked about the  
22 hydrology, let's talk a little bit about the chemistry. The  
23 chemistry in and around and on the package and in the drift  
24 can in fact change with time. It does change with time, or  
25 would change with time. We've looked at the chemistry in the

1 rock above the chemistry as it contacts the concrete, which  
2 is the drift liner, the chemistry as it interacts with the  
3 waste package, which is the steel predominantly, and the  
4 chemistry of the water as it reacts with the waste form  
5 itself, because that would change the chemistry.

6           Shown here is just one example of chemistry change  
7 with time in one particular region of the repository. Again,  
8 because the thermal regime differs from region to region, the  
9 chemistry is slightly different from region to region. So  
10 we've used these chemistries, different chemistries as input  
11 now to first the waste package degradation, then the waste  
12 form degradation, and finally the solubility of the  
13 radionuclides. So there's a direct feed of the chemistry  
14 into those three components downstream, if you will, from the  
15 system.

16           Now that I have some water that got into the drift,  
17 I can start degrading the package. Of course, the mild  
18 steel, the carbon steel outer layer can start degrading under  
19 just a humid air environment, and does degrade under a humid  
20 air environment. But the C-22 inner layer generally will  
21 only degrade significantly in the presence of liquid water,  
22 i.e. in the presence of a seep or a drip.

23           Shown here just schematically are some of the  
24 degradation processes going on for the generally corrosion,  
25 uniform or localized corrosion of the C-22.

1           Shown here, I'm going to blow up that upper left-  
2 hand figure so you can see it better, because it's going to  
3 impact our results a little bit, is the fraction of packages  
4 failed. Failed now means a single breach or single opening  
5 that goes through both the mild steel and the C-22 layer.  
6 And we essentially have two types of openings; one is a very  
7 small opening, we've called those pits, and one that can be  
8 fairly large, like a few hundred square centimeters, and  
9 we've called those patches. And as you can see, the first  
10 curve is just the mild steel corrosion allowance material  
11 itself. All the other curves are both the corrosion  
12 allowance material and the corrosion resistant, the C-22.

13           And you can see the very first package, if you  
14 will, starts failing by corrosion processes at about 3,000 or  
15 4,000 years. When those are failing, they're failing  
16 generally by pits, so it's very small openings through the  
17 package, and then after a little bit more than 10,000 years,  
18 they start failing by patches.

19           COHON: Cohon, Board. The CAM curve then does not  
20 really represent package failure; is that correct?

21           ANDREWS: That's correct.

22           COHON: Okay.

23           ANDREWS: The CAM is just the outer barrier, and it has  
24 to fail first before the inner barrier, in this case, C-22,  
25 is exposed and it can start degrading.

1           SAGÜÉS: Excuse me. Did that include the so-called  
2 juvenile failures?

3           ANDREWS: No. This is just the natural corrosion  
4 processes, how we expect, you know, 99.99 per cent of the  
5 packages will behave. There's some low probability I'll come  
6 to when I come to the results of an initial so-called  
7 juvenile failure that might be a very aggressive environment  
8 that's not expected at all, or improper inspection of a weld,  
9 or something like that. It's there mostly for a sensitivity  
10 study, as I'll talk about later.

11                   Shown here is the change in the area exposed on an  
12 average waste package surface, both by patches and by pits,  
13 and it's the area exposed that will then impact the amount of  
14 water that can ultimately get into the package.

15                   An important point here is that just because I have  
16 a single patch opening or a single pit opening through a  
17 package, that becomes important because now water can ingress  
18 into the package and ultimately egress from the package,  
19 however, the package is still mechanically intact. There's  
20 still a large fraction of the waste package surface area that  
21 is intact even at these times.

22                   Okay, the next component is release from the waste  
23 package. There's three things that have to happen. One is  
24 whatever the waste form is, whether it's a commercial spent  
25 fuel or a glass waste form or a DOE owned spent fuel that may

1 or may not be canisterized, in order for water to contact the  
2 waste form itself, it must contact and degrade that whatever  
3 material that waste form is in. In 99 per cent of the  
4 commercial fuel, that means zircaloy cladding. In 50 per  
5 cent of the DOE owned spent fuel, that also means zircaloy  
6 cladding. So we have to degrade that material first, and  
7 then we have to have water contact that exposed surface.

8           So first we have cladding--well, no, this is more  
9 of a detailed blow-up of the different components. I first  
10 have to degrade the cladding in the upper right-hand portion,  
11 and then have to have water contact the actual waste and  
12 start dissolving, if you will, the waste and transporting  
13 whatever mobile nuclides there are. The immobile nuclides it  
14 doesn't worry about.

15           I should back up. Let me talk about--okay, let's  
16 not try to back up again. Let's go back forward. We  
17 conducted, in addition to the three Expert Elicitations that  
18 I alluded to on one of my first slides, there were two other  
19 Expert Elicitations the Board correctly pointed out, because  
20 we documented them in their 1997 annual report. One was on  
21 waste form degradation, and the fifth and final one was on  
22 changes in the near-field environment. So changes in mass  
23 properties, changes that might be induced to very complicated  
24 coupled effects of mechanics, chemistry, hydrology, thermal.

25           We elicited this group, as we did with others, on a

1 range of issues that affect long-term performance. One of  
2 those issues of course is the amount of waste form that could  
3 ultimately be exposed, and the degradation characteristics of  
4 that containment barrier, in this case, it happens to be a  
5 barrier that comes with the fuel as received and as emplaced  
6 into the waste packages. That group acknowledged that the  
7 cladding, zircaloy in particular, could be a very beneficial  
8 performance benefit to long-term waste isolation, and they  
9 also acknowledged that it's quite uncertain, and the amount  
10 of laboratory data, although there are some, and the Navy has  
11 a lot of, 30 years of testing of zircaloy, and zircaloy is a  
12 well tested material under a range of environments, they  
13 acknowledge that those environments may or may not be  
14 applicable to the environments that we expect to see in the  
15 repository horizon.

16           So what we have done is said from the data that we  
17 could gather, look at the degradation characteristics, both  
18 mechanical, creep, corrosion potential, of this material and  
19 come up with an estimate which ends up being a range of  
20 estimates, because it is uncertain, of the potential  
21 degradation characteristics. This is the estimate for the  
22 base case, and as we'll come to later, we acknowledge that  
23 it's uncertain, so we did a range of uncertainty analyses  
24 with these, some of which I will share with you, some of  
25 which are still in the VA document, and I didn't bring all

1 the results with me.

2           Okay, given that the cladding is degraded, now I  
3 have the mobilization and transport of nuclides through the  
4 engineered barriers. It's important to point out here, and  
5 it's going to be a theme that comes back later when we look  
6 at the results, that we have a lot of nuclides that are  
7 mobile. They're highly mobile. They have very high  
8 solubilities under the types of aqueous environments we  
9 expect. Those include things like technetium and iodine, and  
10 we have a range of other nuclides that have moderate  
11 solubilities, i.e. the water can't carry that much, it's just  
12 chemically limited how much it can carry, and that includes  
13 things like neptunium. And then we have others that can move  
14 as a colloidal form.

15           We've modelled one of those, plutonium. It's also  
16 true of americium and curium that they could be transported  
17 in colloidal form. What we've tried to do in TSPA VA is look  
18 at one of them as a surrogate, and perhaps the most important  
19 surrogate of the other potentially colloiddally migrated  
20 radionuclides from the waste form. And those colloids, just  
21 to point out, could be either naturally occurring colloids,  
22 or they could be waste form generated colloids which have  
23 been observed at Argonne in their laboratory testing.

24           This just shows a particular distribution of the  
25 waste form, degradation, intrinsic dissolution if you will,

1 for those waste forms based on a lot of laboratory data from  
2 PNL primarily, and Livermore.

3           Okay, the last attribute is now that I have water  
4 that's degraded the package and has contacted the waste form  
5 and transported through the engineered components, now I have  
6 the natural components of transport, first through the  
7 unsaturated zone, then the saturated zone, and ultimately to  
8 the biosphere. The unsaturated zone transport, we have both  
9 fracture component and matrix component. There's some  
10 lateral diversion or potential for lateral diversion of water  
11 beneath the repository through perched water zones which have  
12 been observed, especially in the northern half of the  
13 repository block.

14           This shows if I dropped a mole of in this case  
15 technetium, so an unretarded species at the repository  
16 horizon and transported that mole of radionuclides down to  
17 the water table, what the arrival time distribution would  
18 look like. If you look at the present day climate, you can  
19 see that some small fraction arrives less than 1,000 years,  
20 but the 50 per cent arrival is after a few thousand years.  
21 As you go to the long-term average and super pluvial  
22 climates, you're putting much more water through the  
23 fractured system, so the velocities are higher and the travel  
24 times are correspondingly less.

25           Looking at the conceptualization of the saturated

1 zone, we're going now from the base of the repository,  
2 footprint of the repository, out to 20 kilometers, which is  
3 going to be our point of locating a well and then doing our  
4 dose calculations. Again, in the saturated zone, we have  
5 some transport through the fractured tuff aquifer units and  
6 some transport through the alluvial aquifer. That distance  
7 of transport through the alluvial aquifer is uncertain, so a  
8 range has been used in the TSPA VA.

9           Just to indicate the general flow regime, you guys  
10 were out there yesterday, so it should be fresh in your mind,  
11 you see Highway 95 cutting across from the lower right to the  
12 upper left. That 20 kilometer point is essentially at  
13 Lathrop Wells, which is essentially the intersection of 95  
14 and, what is that, 363 or--and the flow of ground water is  
15 essentially to the southeast and then to the south. It's a  
16 pretty busy slide so let me blow up each of the individual  
17 components and walk through it.

18           What we have first off is where does the water go  
19 and how do the nuclides, could the nuclides move in the  
20 saturated zone. Well, they're moving more or less with the  
21 water to the southeast and then to the south. These are the  
22 result of a homogeneous model which we have used only to  
23 define general flow directions and flow paths, and which  
24 geologic units the radionuclides would be in. We need to  
25 know which geologic units and their relative distance because

1 the sorption characteristics of the different units are  
2 different. There's different sorption in the alluvium  
3 sediments or alluvial sediments than there is in the fracture  
4 tuffs.

5           What we've done from that result then is  
6 essentially a very simplistic but I think reasonably  
7 conservative approximation of saturated zone transport.  
8 We've taken the repository footprints or the nuclides that  
9 are released to the water table, and broken it up into six  
10 regions. So we're capturing all the maps and putting it into  
11 the six regions, with the volume of water that's in each of  
12 those six regions being driven by the volume of water which  
13 came through the unsaturated zone. You then do transport  
14 through each of those six regions independently, and convolve  
15 it with all the nuclides in all of the six regions by the  
16 time we get to a 20 kilometer fence line, if you will. We're  
17 capturing it all at that 20 kilometer fence line.

18           And then we apply--what we did get from the experts  
19 for the saturated zone is a dilution factor. They, as the  
20 Board pointed out in our meeting in January, and they  
21 documented in our Expert Elicitation, they believed the  
22 amount of dilution, the dispersive mixing that one gets--one  
23 could get in the saturated zone was being over predicted by  
24 the models that we had, and that the real amount of  
25 dispersive effects or dilution effects was significantly less

1 from their experience than what the 3-D flow and transport  
2 models were predicting.

3           Therefore, we went to this--but they did believe  
4 there was some dilution. They believed there was uncertainty  
5 in that dilution within each of those streamtubes, so we've  
6 used that dilution factor going from the repository footprint  
7 out to 20 kilometers, shown here with the blue. Those  
8 correspond to an effective dispersion or dispersivity or  
9 mixing, depends on how you want to look at it, that Lynn  
10 Gelhar, one of the experts, gave and I think Dr. Gelhar  
11 presented it to the Board in January.

12           Then we have the biosphere. We're looking at all  
13 pathways, all potential pathways of nuclides, once they are  
14 withdrawn from the well, how they could be transported and  
15 any individuals using that water for whatever purposes, how  
16 they ultimately could get a dose. What we've used is ICRP-30  
17 for these calculations. That's a whole body total effective  
18 dose equivalent for calculating the annual dose, and we'll  
19 just call that a dose rate and present our units in millirems  
20 per year rather than SI kind of conventions.

21           Okay, having walked through the system, we have for  
22 everything at its expected value, expected now being defined  
23 as mean of its input values, we come up with a dose, and we  
24 come up with our dose rate, and that changes as a function of  
25 time. I'm going to blow this one up and walk through each of

1 these.

2           These results correspond to no premature, no  
3 artificial juvenile failure. So let's just walk through.  
4 Over the 10,000 year time period, I think we saw in the  
5 results that we had the initial packages failing after 3,000  
6 or 4,000 years, and you see some dose, you know, starting to  
7 show up at 20 kilometers after 6,000, 7,000 years. The doses  
8 over this time period, every time we've run an analyses, are  
9 always dominated by the more mobile nuclides, in this case  
10 iodine and technetium.

11           We look at the 100,000 year results, over the  
12 first--this is now one realization, so we want to understand  
13 one realization, and then we'll come to uncertainty in this  
14 realization and what drives performance in this and other  
15 realization. We again for the first in this case 40,000  
16 years are being dominated by iodine and technetium. After  
17 that time period, you see neptunium starting to take over as  
18 the dominant nuclide. I'm going to come back to another  
19 slide which is going to talk about the reason for that  
20 difference in more detail, but let's say right now that the  
21 very mobile nuclides, iodine and technetium, are more or less  
22 driven by the rate at which the packages fail and the rate at  
23 which the cladding fails, the rate at which the waste form is  
24 exposed to water. So it's a rate thing, and that rate  
25 changes with time. So you see little squiggles on the curve.

1 That's because the number of packages that fail changes as a  
2 function of time, the rate at which packages fail.

3           Neptunium on the other hand, being a solubility  
4 limited nuclide, is more controlled by the cumulative amount  
5 of waste that's exposed and transportable as a function of  
6 time. So it's a nice smooth curve because the cumulative  
7 amount of packages which fail as a function of time keeps  
8 increasing. So it's not surprising when we go from 50 to  
9 100,000 years, that it's increasing, and as we continue from  
10 100,000 years to a million years, we also see a continued  
11 increase predominantly in the neptunium contribution to the  
12 overall dose rate.

13           We occasionally have a few blips in there. Those  
14 blips are those climate changes, because we either have more  
15 water coming in or less water coming in, or the water table  
16 rises or the water table falls as the climate changes. You  
17 see the biggest blips, if you will, at 300,000 years, at the  
18 time of a super pluvial, and against at 700,000 years, which  
19 is the time of the next, in this realization, the next  
20 simulated super pluvial.

21           If I assume that there is this premature failure,  
22 so I have an undetected weld defect or a very unexpected  
23 chemical environment, such that it's much more aggressive  
24 than expected at all, then--and I just assumed that premature  
25 failure at 1,000 years, then over the 10,000 year period, and

1 I'm not going to blow up any of the subsequent slides because  
2 I want to get through this and offer plenty of time for  
3 questions, I see a release occurring at 3,000 years, and it  
4 peaks at about 5,000 years for that single waste package that  
5 has a small opening through it.

6           If I look at the 100,000 year curve or the million  
7 year curve, there's no impact of that single package. But  
8 there is an impact if I assume a single package fails early  
9 on.

10           The next set of slides is just to walk through the  
11 predominant things that are changing, that drive that  
12 particular curve on the left. And now I've picked the curve  
13 that includes the premature failure for illustration  
14 purposes. So let me blow up--hopefully this is going to  
15 work--first blow up the number of packages failed. So this  
16 is from this one realization, from one case, this is the  
17 number of packages that are contributing to that dose that we  
18 are predicting. We see that one juvenile failure occurring  
19 at 1,000 years, the total number of packages is about 18 if  
20 you add up those little lines, over the 10,000 year time  
21 period. Those that start failing at 4,000 years are failing  
22 by very small openings, by pits through the waste package.  
23 This is 18 out of more than 10,000 total number of packages.  
24 So it's less than a tenth of a per cent of the total number  
25 of waste packages.

1           The next curve shows the seepage flux, so there's  
2 going to be a theme here that hopefully you'll--maybe I  
3 should have told you the theme before I went into the  
4 results, but there will be a theme here that the amount of  
5 water makes a difference, and the distribution of that water  
6 makes a difference, and the degradation of the engineered  
7 barriers makes a difference, and they're going to work in  
8 concert either for or--generally for each other, but  
9 sometimes against each other. If I have a lot of water and  
10 that water found those holes, then my releases from neptunium  
11 are going to be greater because it's being driven by the  
12 amount of water which gets through into the system. So it's  
13 shown here first the amount of seepage into the drive, and I  
14 have two other curves, one is the amount of water which got  
15 into that prematurely failed package which had a big opening,  
16 essentially a few hundred centimeters, and that amount of  
17 water which would get into relatively small openings.

18           What's shown here with the gray curves are the  
19 distribution around the expected values. So there's spatial  
20 variability in here, so that's what's shown in the gray.

21           Finally, I'm showing the advective versus diffusive  
22 releases. At 5,000 years, remember in this one realization,  
23 there was a climate change, so the climate change meant more  
24 water got in. If more water gets in, it means more and  
25 larger advective releases, and I'm just showing technetium in

1 this particular plot.

2           Doing a similar sort of exercise for the 100,000  
3 years, this is what you have, and now I'm going to just kind  
4 of rearrange them so that it's more clear. Essentially, the  
5 number of packages failed where failure is one pit or one  
6 patch through the package is about 10 per cent at 100,000  
7 years. So you can see I just have a wide distribution of  
8 when those packages are failing from this particular  
9 stochastic realization.

10           The amount of water that gets into the drift is  
11 fairly stable. It's being driven by percolation  
12 predominantly, and the percolation change as a function of  
13 time. So I see that step function. But the amount that gets  
14 into the waste packages continues to increase as they  
15 continue to degrade.

16           And finally this is illustrative to show why do we  
17 get those squiggles in the dose, is because we have these  
18 squiggles in the releases from the package. This is integral  
19 of all packages that have failed, and those are being driven,  
20 those squiggles again are being driven by the rate at which  
21 packages fail, which was the upper right-hand corner of your  
22 plot.

23           Technetium is still dominant, these are in terms of  
24 curies, it's still the dominant in terms of curies, but as we  
25 saw, neptunium is dominating in terms of dose, especially

1 over the last tens of thousands of years on this plot, and  
2 that's being driven by the fact that neptunium has a higher  
3 dose conversion factor than does technetium.

4           And finally the same thing for a million years,  
5 which I think I can--by the time I get to a million years,  
6 virtually all the packages have failed. They at least have  
7 one pit or one patch through them. Shown on the lower right-  
8 hand corner is the advective and diffusive releases now of  
9 neptunium from the EBS, or from the waste package, sorry.  
10 There's other ways of plotting this, but this is a useful way  
11 of showing that from the EBS, neptunium rises and falls and,  
12 therefore, it's not so surprising that from the natural  
13 system, it also rises and falls.

14           Okay, having walked through the base case with an  
15 expected realization, so a single point taking all the models  
16 at their expected value, expected now in quotes, and all the  
17 parameters at their expected value, where expected is  
18 explicitly the mean of the parameter, I want to look at a  
19 range of uncertainty analyses. This is a table from the VA,  
20 so the chapter numbers reference chapter numbers in Volume 3  
21 of the VA, which is still in review and comment response, and  
22 things that we looked at. So for each of the principal  
23 factors, in some cases, Column 1, we looked at heterogeneity,  
24 variability in the base case. So climate and infiltration  
25 were spatially variable. That was included in the expected

1 value realization. That variability translated to  
2 variability in percolation and variability in seepage.

3           We had large variability in waste package  
4 degradation. So those are in that single point realization  
5 that I've already shown you. But Column 2 is looking at the  
6 uncertainty in all of the parameters that are in that base  
7 case, and I'll come to those results fast, and Column 3 is  
8 looking at, well, let's look at for each of my parameters,  
9 let's start stressing the system a little bit and see how  
10 that pushes the results, if you will, where results are now  
11 defined in terms of dose rate.

12           So I'm going to start with Column 3 and come back  
13 to Column 2, and I'm going to go through these relatively  
14 quickly because the main message is how much is it changing  
15 things, first off, to acknowledge that these things are  
16 uncertain and then to look at how much did it drive the  
17 results. So for infiltration rate, we see over different  
18 time periods, different effects. We looked at a factor of  
19 three higher and a factor of three lower. Those more or less  
20 drive the fifth and ninety-fifth percentiles off of our  
21 expected infiltration rate. In part, that came from the  
22 Expert Elicitation that we conducted on UZ flow that was  
23 described to the Board last summer.

24           We see the dominant effect is in the 100,000 year  
25 time period. That is predominantly because neptunium is

1 being driven by the amount of water. Technetium and iodine  
2 are not that dramatically impacted by the amount of water.  
3 They have very high solubilities. They can diffuse even  
4 through a limited amount of water. So you don't see much of  
5 an impact in the 10,000 year time period, but you see a  
6 significant impact in the 100,000 year time period, and less  
7 of an impact in the million year time period.

8           Looking at seepage, seepage is very uncertain, as I  
9 pointed out earlier. The amount and per cent of packages  
10 that could see seeps being driven by the fracture  
11 characteristics and the percolation flux distribution is  
12 quite uncertain. All these cases are with that initial  
13 premature failure, which is not related to the amount of  
14 seepage. So you see in the 10,000 year time period, the  
15 results are--the lower curve is essentially dominated by that  
16 single waste package.

17           When I come to the 100,000 year time period, you  
18 see that single waste package essentially left the system.  
19 This is that single waste package, and it essentially says  
20 there is some probability, albeit low, that I have no seeps,  
21 that the fracture characteristics are such that even over the  
22 100,000 year time period, even with increased infiltration  
23 and percolation, that there are no seeps. Therefore, if  
24 there's no seeps, the C-22 is just happy and will not degrade  
25 significantly over this time period. It does start degrading

1 over the million year time period down here, but not over the  
2 100,000 year time period. So seepage is quite a significant  
3 factor.

4           Now, the C-22 degradation rate, not surprisingly, I  
5 have several orders of magnitude here and here on the current  
6 uncertainty in degradation rate, both the mean and its  
7 distribution of degradation rates of C-22. So that will  
8 become, as you will point out, a fairly critical factor in  
9 long-term performance.

10           Here is one slide, we have others, of cladding  
11 degradation. The base case that I showed you back several  
12 slides ago had essentially 10 per cent of the clad degraded,  
13 or the mean of that distribution, at a million years. And  
14 what I've done, or what we've done, is move that back so it's  
15 100 per cent degraded at a million years, or 100 per cent  
16 degraded at 100,000 years, and looked at the sensitivity.

17           There's another plot of taking it out entirely, you  
18 know, just removing any credit for the degradation  
19 characteristics of zircaloy cladding. That has about a  
20 factor of, I forget, 30 or 100 change in the 10,000 year time  
21 period, and not as great effect over the 100,000 year time  
22 period, and it's almost like what we already have in the  
23 million year time period.

24           Neptunium solubility, neptunium drives the results  
25 at the intermediate and long-terms. Now I talk as a PA

1 person of what intermediate and long is. I suppose most  
2 people would call 10,000 long, or long enough, but if I look  
3 at the 100,000 or million year time periods, I see a factor  
4 of ten roughly effect based on the uncertainty in neptunium  
5 solubility.

6           Saturated zone dilution ends up being a pretty  
7 linear effect. We have a pretty tight distribution on  
8 saturated zone dilution based on that Expert Elicitation, so  
9 it's not so surprising that we have a pretty tight impact of  
10 that uncertainty on dose. The same with dose conversion  
11 factor. It's very linear. Increase the dose conversion  
12 factor, increase the dose, decrease the dose. There is  
13 uncertainty in that that we have to acknowledge, so we have a  
14 range of possible performances.

15           Okay, in addition to those, we have a range of  
16 multiple realization cases. These are taking the uncertainty  
17 that I have in all the parameters and just sampling it in a  
18 Monte Carlo hypercube type approach, and we get a series of  
19 curves, not just a single curve. The major drivers on that  
20 curve are seepage fraction and C-22 degradation rate over the  
21 10,000 year time period. As I point out here, 28 of those  
22 realizations, 28 out of 100 had no waste package failures.  
23 There was either no juvenile failures, the seepage rate was  
24 low, or the C-22 degradation rate was low, such that they had  
25 no waste package failures over that time period and,

1 therefore, no doses.

2           I just blew these up for better viewing, but let's  
3 go quickly through the 100,000 year. Same sort of thing, a  
4 wide range of results. In this case, there's still 20  
5 realizations, i.e. that either have a low seepage flux, low  
6 seepage fraction, low C-22 degradation rate, such that the  
7 packages did not fail. That's just a blow-up of that.

8           A million year, again, a wide range of results, the  
9 dominant factors being seepage fraction, and now some other  
10 things start cropping into what was driving the performance,  
11 including the dilution factor and the dose conversion factor.  
12 Those have a linear relationship, so it's not surprising  
13 that they have a linear--you see a linear relationship to  
14 significance.

15           Another way of plotting that same thing is the  
16 complementary cumulative distribution functions, which just  
17 show the range or the variability in the expected result, due  
18 to the uncertainty in all of the inputs that we've given.

19           Now, what have we done with that? We've said let's  
20 try to identify based on all of the above, based on the one  
21 off type comparative analyses that I presented first, the  
22 fifth and ninety-fifty percentile work, based on the multiple  
23 realization work, let's try to prioritize the significance of  
24 the principal factors. The legend for this table is on the  
25 next slide. Essentially high corresponds to factors that

1 could cause the dose rate to be more than or less than a  
2 factor of 100 from the expected value. The mediums are  
3 between a factor of 10 and 100 on average, and the lows are  
4 generally on a factor of 10 or less significance to overall  
5 performance.

6           And remembering that we talked about over the  
7 shorter time periods, the 10,000 years sort of time periods,  
8 and slightly higher, being driven by iodine and technetium  
9 which are being driven by waste package degradation rates,  
10 and that the longer time periods being driven by cumulative  
11 failures, cumulative amount of inventory exposed, cumulative  
12 amount of water contacting waste, i.e. neptunium, and in some  
13 cases plutonium, the colloidal plutonium.

14           So we see at early times, less than 10,000 years,  
15 were being driven by seepage into the drifts, which we've  
16 mentioned several times, by the integrity of the inner waste  
17 package failure, and also by the cladding. We have taken  
18 reasonable credit for cladding. If we take that credit away,  
19 as I said, those doses could increase by about a factor of 30  
20 to 100, so we've put it as a high.

21           We could spend a lot of time on here, but let me  
22 continue on and in the sake of time, this will be picked up  
23 later by Jack when he walks through the prioritization of  
24 work to be done, which in part uses this and in part uses how  
25 much confidence we could get in each of these individual

1 factors. So that's the legend.

2           In addition to the reference design, which was the  
3 basis of 95 per cent of what's in the VA, there are some  
4 design options that have been evaluated. They're described  
5 in Volume 2, and we've done preliminary performance  
6 assessment analyses of those in Volume 3.

7           The two that I'm going to talk about here are the  
8 drip shield placed over the waste package, it can be a C-22  
9 drip shield, and a ceramic coating on the waste package.  
10 Wendy Dixon and Lee Morton will talk some more about design  
11 alternatives from an EIS perspective this afternoon, and Jack  
12 Bailey and Mike Voegele are going to talk about other design  
13 enhancement features that are described in the VA and post-VA  
14 in their talks after me. I just want to focus on two design  
15 options that are incorporated in the TSPA analyses.

16           First, let's start with the drip shield. That drip  
17 shield is C-22. C-22 degrades only in the presence of liquid  
18 water. That degradation rate we have used for the drip  
19 shield is essentially the same as the degradation rate as  
20 we've used for the inner waste package material. So we just  
21 applied the same model, applied the same logic, and came up  
22 with the C-22 degradation characteristics, if you will, for  
23 the drip shield.

24           For the first 100,000 years, the drip shield never  
25 failed. Well, the drip shield and the underlying package, I

1 should say, never failed. Remember, I have two centimeters  
2 of drip shield C-22, an underlying package which also  
3 includes two centimeters of C-22. So this is close to a four  
4 centimeter C-22 waste package design. And there was no waste  
5 package that failed for the expected single point realization  
6 in the first 100,000 years, and so you come to the lower  
7 right-hand curve, it did start failing after 100,000 years or  
8 so, and so the doses start coming back up, and in fact start  
9 coming back to the base case after a very long time period.

10           The next one is the ceramic coating. Everything  
11 else--in both of these cases I should point out, if I haven't  
12 on the bullets, they included backfill with the analyses. So  
13 both the drip shield comes with a backfill, which we acquired  
14 for its emplacement and its stability, and the ceramic  
15 coating would come with a backfill to protect the ceramic  
16 coating from any rock falls or things like that.

17           The degradation of the ceramic coating essentially  
18 requires degradation of the underlying steel and it to  
19 blister, if you will. That can take a very long time, and in  
20 addition to that, once that's occurred, I still have the mild  
21 steel underneath it, and the C-22 layer underneath it. So it  
22 also had no packages fail in the first 100,000 years. It did  
23 start failing, some packages started failing significantly  
24 after that, and you can see some doses attributed to that  
25 particular design option starting at something greater than

1 400,000 years.

2           Okay, so in summary, we have ample time for  
3 questions, we've looked at an expected case, a single  
4 realization case, we've looked at a range of possible  
5 performances that we think reasonably bound it from that  
6 expected case, at least from a VA perspective. That's not to  
7 say that there's not additional uncertainties or additional  
8 issues that one should have to look at between VA and LA, or  
9 VA and SR and then LA, and that would be the purpose of what  
10 Jack talks about and what Mike talks about. Where are we  
11 going with additional work?

12           The most significant factors that came up time and  
13 time again, not that other ones weren't, but the most  
14 significant were the degradation rate of the package itself,  
15 and the seepage into the drifts. So they're very closely  
16 related. Seepage is a natural environment thing, and the  
17 degradation rate is an engineering system. But there's  
18 obviously ways to affect the impact of seepage in the drifts,  
19 i.e. drip shields, and there's ways to affect the degradation  
20 rate of the packages, i.e. ceramic coating and other design  
21 enhancement features.

22           So this ends up being, by the time we include two  
23 other rows, now we have the same principal factors that we  
24 started with for our reference design, and have added two  
25 rows. One is some water diversion system, whatever it may

1 be, and there's other alternatives than drip shield, but some  
2 water diversion system, and some other type of waste package  
3 materials or ceramic coatings on the package. And these two,  
4 as are clear in my plots, end up having a high as well.

5           So with that, let me stop and try to entertain any  
6 questions that the Board may have.

7           COHON: I'm sure we have no questions at all.

8           ANDREWS: Thank you.

9           COHON: Touche. That was an excellent presentation.  
10 For the benefit of those in the audience who have not stayed  
11 on top of TSPA, one can only say that what you just saw  
12 probably seemed like--as if it was totally bewildering. The  
13 Board, however, has worked very hard to stay on top of what  
14 DOE has been up to in TSPA, as Bob referred to earlier, which  
15 meant that much of the presentation was indeed review for  
16 almost all of us, I think, and a very good review. We  
17 appreciate that.

18           With that, let's see if there are any questions.  
19 Debra Knopman?

20           KNOPMAN: Knopman, Board. It was an excellent  
21 presentation, Bob.

22           The Board for a while has been concerned about  
23 stability of the science as you move toward--move through VA  
24 and beyond, and I'd like to focus on this chart right here.  
25 I find it a very useful way to organize information, and

1 while it's not cast in terms of hypotheses, it at least  
2 identifies key issues and it's a finite list.

3           However, the various levels of importance that you  
4 assign to these elements here are quite different than what  
5 we saw even a month ago. And I'm wondering if you can  
6 explain a little bit about why there might have been some  
7 movement. Right now, for example, just in the limited water  
8 contacting waste packages, the first grouping, I guess there  
9 are just two elements there that now have a high level of  
10 importance, the seepage into drifts and the water diversion  
11 by drip shield and backfill, whereas almost all of those  
12 elements had been considered high, of high importance a month  
13 ago. Can you explain what may have happened?

14         ANDREWS: Yes. In part, a lot has changed in the last  
15 month, not so much conceptually, but generating all of our  
16 results and then how do we portray in as quantitative a  
17 fashion as we feel is justifiable, some prioritization. And  
18 we did have a lot of iterations on, you know, is showing  
19 things fifth and ninety-fifth percentile, is that a  
20 reasonable way to show quantitatively what's going on? Is it  
21 based solely on regression type analyses from multiple  
22 realizations, is that the best way to show what correlated  
23 well with dose? And, in fact, we have a little bit of a  
24 mixture of those two in coming up with these highs, mediums  
25 and lows.

1           I think in some previous tables, even as long ago  
2 as April, we probably based those tables mostly on the  
3 multiple realization cases and what correlated most with dose  
4 rate. Which parameter or which component correlated most  
5 with the dose rate? And there, there's a lot of things that  
6 correlate reasonably well with dose rate. You don't see it  
7 on a scatter plot, but you see it when you examine the  
8 statistics. But we didn't feel that was as useful in some  
9 cases or is the only tool that we should use to help us in  
10 ranking or defining the significance of the importance of the  
11 uncertainty. So we did a lot more since even April in  
12 examining, you know, the range of results for each component  
13 separately, so these fifth and ninety-fifth percentile type  
14 results that I showed earlier.

15           And then we tried to figure out a way, okay, given  
16 those, how can I--some things impact one nuclide but don't  
17 impact another. In other words, I can change some things and  
18 have a dramatic impact on neptunium, like neptunium  
19 solubility clearly, but that still doesn't impact technetium  
20 and iodine. So they would form more or less a floor in the  
21 peak dose, and so we had to factor that floor into our  
22 discussion of the quantitative impact of the significance of  
23 the uncertainty. And these are really the significance of  
24 the uncertainty driving the long-term performance. So some  
25 things did change, but it was also how do you use all the

1 different pieces of data, if you will, that we have from the  
2 results that we have to assist the project in identifying  
3 what was really driving performance.

4       KNOPMAN: Okay. So it's an interpretive issue here,  
5 that is, there are any number of ways in which you can  
6 summarize the data, in effect, and then assign importance to  
7 change in performance as a consequence, a change in parameter  
8 distributions.

9       ANDREWS: Yeah. One of the other things we did that I  
10 didn't have a chance to present here, and maybe it's not  
11 worthwhile talking about, but it's going to be in the VA, is  
12 we took out the two or three or four most significant things  
13 and then reran it in a multiple realization. And then you  
14 say okay, how much did my total variance, if you will, in my  
15 output, how much was that total variance reduced by taking  
16 out what I perceived to be, based on the initial run-through,  
17 the most significant ones. And we did that by taking out  
18 essentially seepage and C-22 degradation. Just said suppose  
19 I knew those and I knew those perfectly, then what's my  
20 variance in the total results, and then these other things  
21 start popping in. But those two things were driving the  
22 total variance in the results. They were driving the fifth  
23 and ninety-fifth percentile results. And so they pop out on  
24 this table--well, first they pop out on the earlier table I  
25 showed you, and then they pop out as highs on this.

1 COHON: Can I just follow up? Debra has some more  
2 questions and other members have questions. But one of mine  
3 deals specifically with this point, so I'd like to pursue it  
4 a little bit further.

5 Your slide 48, and I don't know if you have the  
6 capability of going back to it, but it's okay if you don't.

7 ANDREWS: I do, but it might take me a while.

8 COHON: Okay. Well, the key thing here, it's exactly on  
9 this notion you were just discussing about contribution to  
10 overall variance. The bar chart, this is the slide with the  
11 bar chart, the four colors, the horizontal axis says impact  
12 on peak dose variance, and it's got numbers that vary from  
13 zero to .18 in units, .02, and the one that has the biggest  
14 is seepage fraction. Could you give me the precise  
15 interpretation of what that axis means and those numbers  
16 mean?

17 ANDREWS: Yeah, that probably is slightly misworded, but  
18 it essentially is the amount of variance reduction that would  
19 occur if I took that parameter--

20 COHON: Just as you described before with Debra. Okay.

21 ANDREWS: But it's all done statistically as a post-  
22 processor to those hundred realizations, not--I didn't  
23 physically take it out and then rerun it. So it's a post-  
24 processing of the statistics.

25 COHON: But didn't you just say before that you did

1 rerun the model?

2       ANDREWS: We also did that.

3       COHON: You also did that? But these results don't  
4 reflect that?

5       ANDREWS: That's right.

6       COHON: Okay. I just want to pursue this a bit more.  
7 Now that we have it, we're done with that one. Thank you.  
8 That's very helpful.

9       BULLEN: Bullen, Board.

10       COHON: Okay, go ahead.

11       BULLEN: This is a follow up to the same question. It  
12 seems to me that as you look at your table with Ms and Hs and  
13 Ls on it, that the clad credit is also one that has a  
14 significance and yet it is not included here. Has that  
15 analysis been completed where you gave zero clad credit and  
16 came out with how big a variance do you have on the final  
17 results?

18       ANDREWS: Yes.

19       BULLEN: And how does that look on this kind of chart?

20       ANDREWS: Oh, on this chart? We did not run--this is  
21 now in the mode of an alternative--you know, not alternative  
22 realization in the way we have here, but it's really an  
23 alternative conceptual model. And when I come to an  
24 alternative conceptual model, now I have to make a whole  
25 separate run.

1 COHON: Well, wait a minute. Cohon, Board. That's  
2 splitting hairs, I think. You can take the same conceptual  
3 model and assume sub-realization when the number happens to  
4 be zero, all of your cladding has failed the moment you  
5 emplace the waste.

6 ANDREWS: We did that.

7 COHON: Okay. Well, that's the question Dan is asking.

8 ANDREWS: That was that factor of 100 that I said.

9 COHON: Well, then why can't you--

10 BULLEN: The variance on your output on this bar chart--

11 ANDREWS: You wouldn't see it on here because it's not--  
12 although it is being sampled, it's not being sampled over  
13 that amount of the distribution. In other words, I'm not  
14 going from zero to 100 on fraction of cladding exposed in  
15 this set of realizations.

16 BULLEN: Have you?

17 ANDREWS: In multiple realizations? We have done a  
18 single realization, making it 100 per cent of the cladding  
19 failed at time zero, and that was that factor of 100.

20 BULLEN: Oh, factor of 100, 50 to 100.

21 ANDREWS: Yeah.

22 BULLEN: I'll come back to cladding in a minute, but I  
23 just wanted to--

24 COHON: Well, let's not let this one go, because I'm  
25 totally lost now. If you couldn't do it with cladding, how

1 could you do it with these other four things.

2       ANDREWS: It was with cladding, but it wasn't over that  
3 broad a range.

4       COHON: Why didn't you do it over the broader range so  
5 you could give it--see if it stacked up with these four?

6       ANDREWS: We could have.

7       COHON: Why didn't you?

8       ANDREWS: Because we felt what we had was a reasonable  
9 representation, albeit uncertain and albeit bounded, that is  
10 reflected in--

11       COHON: Now, wait a minute. I'm completely mystified  
12 here. You present this bar chart, which any reasonable  
13 person would infer means these are the top four contributors  
14 to variance. Is that a reasonable inference?

15       ANDREWS: Yes, for the representative models and range  
16 thereof.

17       COHON: These are the top four?

18       ANDREWS: In these analyses.

19       COHON: Is it clear these are the top four, means I know  
20 what the other whatever contribute as well to variance?

21       ANDREWS: You could do that.

22       COHON: Yes, I know you could do that. Did you do that?

23       ANDREWS: Yeah, all the other parameters--

24       COHON: Including cladding?

25       ANDREWS: Including cladding, but with a range. In

1 other words, I would have to show the PDF, if you will, of  
2 each of the input variables, and cladding is one of those,  
3 and that PDF is a relatively, for this base case, that PDF of  
4 cladding degradation is a relatively small range. So it is  
5 here. We've got a relatively small range of uncertainty, and  
6 that range of uncertainty increases with time for cladding.

7 COHON: So these top four contributors to variance as  
8 shown on this chart are for the context of certain  
9 assumptions you made about the probability distributions?

10 ANDREWS: Uh-huh.

11 COHON: And those assumptions--why wouldn't you use the  
12 whole range? Why would you make the probability distribution  
13 range smaller than it can be?

14 ANDREWS: Well, we were going after a reasonable range  
15 for each component. So we have each component, the aim of  
16 the VA was to look at a reasonable range, and then to push  
17 that range with separate analyses.

18 COHON: Okay.

19 DOCKERY: Bob, I think between base case, what is the  
20 base case versus what is--you know, what were the  
21 deterministic results versus the stochastic results. I think  
22 it was maybe an issue of not understanding what the base case  
23 is here.

24 COHON: Well, no, I do understand what the base case is.  
25 Great care has to be taken in how these results are

1 interpreted, and I appreciate the challenge you have in  
2 setting ranges for the various parameters. I'm sorry, I  
3 don't want to take up any more time with this. Debra?

4       KNOPMAN: Yeah, two quick questions. One, these  
5 parameters are highly correlated with one another. So as  
6 you're trying to interpret contribution of variance of one to  
7 the other, you get weird effects by taking one thing out and-  
8 -or even something like seepage fraction is so highly  
9 dependent obviously on infiltration, that that's really your  
10 driver as opposed to seepage. So I want to second the point  
11 that Dr. Cohon made about interpretation and clarity and  
12 transparency here on representations of variance. Because of  
13 the high correlations among the variables themselves, it  
14 becomes less--it's not a trivial exercise to demonstrate  
15 contributions, though it's a helpful graphic, and I don't  
16 want it to disappear, it just needs to be I think clarified a  
17 little bit more as you present this.

18       Also, I'd just like to comment that I think it  
19 would be very helpful for the Board to see a very short, it  
20 doesn't have to be a lengthy document, but a very short  
21 document that would explain the way you arrive at your high,  
22 mediums and lows on performance--importance on performance,  
23 that's your last chart there, Slide 58, that we see how  
24 you've gone about making those judgments, because it's not a  
25 scientific question in a sense as to what these--what the

1 proper levels are. It's purely a judgment call sort of  
2 preference for how to present information, and that's fine.  
3 It's just it needs to be made explicit so that we can  
4 understand it and others can understand it.

5       ANDREWS: I agree. We tried to--when we do the analyses  
6 over different time periods, what ends up being significant  
7 or what is driving performance over those different time  
8 periods changes. And when you try to summarize it into one  
9 global set of what drove performance, in part you have to  
10 consider which time period was it that I'm considering. You  
11 know, we could have had another column that said from zero to  
12 1,000 years, you know, what was driving performance. And in  
13 part then, that's important to the prioritization of work is  
14 how much confidence do I need over the 10,000 year period, if  
15 that's going to be the regulatory time period, and how much  
16 confidence or variance can I accept over much longer periods  
17 of time. So that also gets folded complexly into that single  
18 column. I mean, one could weight, you know, how much I want  
19 to make sure that I'm 95 per cent confident over this time  
20 period, but it's okay if I'm looking at means or medians or  
21 modes or some other statistical measure of goodness, over  
22 much longer time periods. That becomes a very complicated  
23 regulatory and licensing type issue.

24       COHON: Viewing it and presenting it in those three  
25 different time periods is very effective, and I congratulate

1 you on that. Dr. Knopman's point, though, is very well taken  
2 by me, and I'm sure by you as well, and I just want to  
3 emphasize it, and that is you must make value judgments.  
4 They can't be avoided. All we're asking for is clarity on  
5 how it is you arrived at that value judgment so we know how  
6 to interpret HM&L.

7           Also a follow up question on her questions. In any  
8 of these runs, did you reflect the joint distributional  
9 nature of any of the parameters, these correlations between  
10 parameters that she was talking about? I'm not sure there's  
11 a basis for doing that, but I just wonder if you attempted  
12 to.

13          ANDREWS: I'm not sure. I'll go back. We're still  
14 writing up some of this, so I'm not sure whether we looked at  
15 that particular issue. Clearly, in part, one of the reasons  
16 seepage is important is because it drove which packages got  
17 wet. So that correlation of seepage to wetness on package  
18 was fairly significant, and it's hard to break that out from  
19 the analysis.

20          COHON: Right. Of course wherever water is concerned  
21 there's correlation, from rainfall to when you sink a well.  
22 But some of that jointness is so strong in the sense of joint  
23 probability distributions, which perhaps are not derivable,  
24 that's the question, whether you've attempted to reflect that  
25 in any of the runs. We'd be interesting in knowing.

1           ANDREWS:  Okay.

2           COHON:  Thanks.  Dan Bullen?

3           BULLEN:  Bullen, Board.  At the risk of asking too much  
4 of the technology, can you change the channel to Number 24?

5           COHON:  Dan, should we do someone else's question while  
6 he's doing that?

7           BULLEN:  I actually have a quick question while you're  
8 changing channels, Bob.  As you presented data with respect  
9 to the near-field environment and the geochemical environment  
10 base case, you cited a drop in the fugacity of oxygen as one  
11 of those pictures that was shown.  Could you tell us the  
12 basis for that drop in fugacity of oxygen?  I know it has an  
13 impact on the corrosion allowance barrier failure.  What  
14 basis do you have for that reduction in the drop in the  
15 fugacity?

16          ANDREWS:  In part, that's being driven--now you're  
17 getting out of my area, so I should probably, you know, defer  
18 or have someone contact you.  Part of driving moisture and  
19 air out of the system for a certain period of time--

20          BULLEN:  Right, and this actually gets back to a  
21 question that I keep asking Bill Boyle every time I see him.  
22 In the drift scale heater test, was the partial pressure of  
23 oxygen which is related to the fugacity, and yesterday on our  
24 trip, we learned that basically the composition of the air is  
25 16 per cent relative humidity--or the composition of vapor

1 and air is 16 per cent relative humidity, atmospheric air in  
2 the drift scale test. So the boiling front doesn't appear to  
3 drive the water away from the mountain, which is what I would  
4 have expected, but which is probably not what's expected by  
5 the equivalent continuum modelling that you've done. And so  
6 it's just a suggestion that in this case, you know, the VA is  
7 the VA and that's fine. But it's one of the areas where  
8 someone that's going to scrutinize the changes, and I don't  
9 think the change in the corrosion rate of the corrosion  
10 allowance barrier has any effect, but it's a point where  
11 you're making a claim for something that you don't have data  
12 to support, and the data were supposed to be were derived  
13 from the drift scale test, and the data are there, and it  
14 doesn't support the fugacity curve, so you might want to make  
15 sure you consider that.

16       ANDREWS: I'm sure we will. We realize that the VA is  
17 based on--

18       BULLEN: A few months ago, you didn't have the data.  
19 That's exactly right. I understand that. But we learned  
20 yesterday, and by the way, didn't you change it for today--  
21 no, we learned yesterday that that's not the case.

22               Now, to get to Channel 24 here, as I mentioned, as  
23 I understand it when you were constraining and trying to  
24 determine the variance, what you're saying here is that the  
25 only variance that it had in cladding failure, for example at

1 10 to the fifth years, is that for the lower limit case, I  
2 don't know, 1 per cent has failed, and for the upper limit  
3 case, 3 per cent has failed. And that is based on these  
4 assumptions here?

5       ANDREWS: That is--well, the bases isn't described all  
6 on this slide, but the bases are correlations of degradation  
7 with C-22 degradation, corrosion degradation, and they're  
8 extrapolations of mechanical degradation effects and also  
9 looking at creep. So we had three predominant potential  
10 failure modes. Creep ends up being insignificant, very low  
11 significance. Mechanical degradation starts once the package  
12 has sufficiently degraded such that you could get mechanical  
13 degradation of the clad, and corrosion would start as soon as  
14 you could get liquid water into the package.

15       BULLEN: Okay. And the correlations that you make in  
16 this kind of analyses are handbook correlations, as we  
17 understand, because the data aren't there. But I have to  
18 point out something to you that you really want to make sure  
19 that you look at irradiated fuel, 60 gigawatt days per metric  
20 ton, with whatever oxide and hydrides there might be, and  
21 then I also want to point out to you that, you know, I got a  
22 draft of your TSPA VA report, and so you always hate it when  
23 people read what you write, but in this case, it does note  
24 that zirconium is susceptible to pitting from ferric chloride  
25 ions, and so I'm thinking we're probably going to have some

1 ferric chloride ions there. So if you want to have a  
2 justification for these types of performances, some  
3 accelerated aging tests of irradiated spent nuclear fuel,  
4 taking a look at a concentration of ferric chloride ions in  
5 the range of temperature, pH and chemistry that you expect  
6 inside the waste package is what's really needed to justify  
7 this kind of correlation.

8 I understand that the correlation in comparing  
9 whatever you had to C-22 to un-irradiated zircaloy is the  
10 first step. But between now and LA, either if you're going  
11 to justify this variation and see that cladding has no  
12 significance, you've got to have those data to support it.  
13 Otherwise, you've got to go to zero to 100 per cent failed  
14 suggestion that Dr. Cohon mentioned.

15 ANDREWS: I think we agree. And Jack, when he talks  
16 about the work remaining, you know, to get from VA to LA,  
17 will bring up some of these cladding type issues and  
18 additional information that's required.

19 BULLEN: Okay, thank you.

20 COHON: Dr. Sagüés? Alberto, can you hang on one  
21 second? Lake, did you want to say something?

22 BARRETT: Barrett, DOE. I've heard several discussions  
23 here about the cladding. I had a difficult time  
24 understanding these 100 realizations myself. Now, first of  
25 all, I will say I hated statistics in school and I still

1 don't understand it all, and the Monte Carlo stuff I don't  
2 understand. But I did ask them where was cladding in this?  
3 Show me the non-cladding. And I got the proper statistical  
4 answer was it's not there, you know, and you shouldn't ask  
5 that because it's non-statistical type realization. And so  
6 humor us and please run one. And they ran a run, which is  
7 probably not going to be in the VA, but if cladding was  
8 failed inside the package, take and run it, and on Page 36,  
9 you know, is the standard output of the model, which shows  
10 you know at 10,000 years, I always kind of look at where am I  
11 at 10,000 years. You know, this was in the 10 to the minus 2  
12 millirem per year.

13               Now, the answer back was, you know, it's 50 to 100  
14 times higher, so you can just take that curve and just add  
15 it, you know, it starts off when the first package fails  
16 around 3,500 years, and you can just kind of run that curve  
17 out two orders of magnitude higher, and that's in a non-  
18 statistical way to me so it's deterministic of what happens  
19 if the cladding was 100 per cent failed inside for whatever  
20 reason, what the world looked like. You know, it did not  
21 come to an end and it didn't really come out of the  
22 statistical realizations because they said, well, that's not  
23 one that is statistically going to be there. I said just  
24 humor me and run it, and we did just to get a sense of where  
25 that is. The upper left has the cladding in that model, and

1 if you just go and add basically 50 to 100, and it runs over  
2 there, so that you end up with a dose around several millirem  
3 at 10,000 years. But that's what it would look like in a  
4 simplistic engineer, non-statistical view to me. Now, I  
5 don't know if that helps or muddies the water.

6 COHON: It is helpful. We do understand statistics and  
7 we also understand modelling, which is what drove our  
8 questions. And I think we've gotten good answers.

9 BULLEN: Just a quick follow up to Lake's comment here.  
10 In doing that calculation, did you set the upper limit of  
11 the realization at 30 per cent of the clad failed? I don't  
12 know, what is that, 10, 20--40 per cent of the clad failed?  
13 Or did you fail all of it, surface area exposed is the  
14 question. When you opened it all the way up, it looks like  
15 you've limited it here to--

16 ANDREWS: Oh, when I opened it all the way up, it was  
17 100 per cent.

18 BULLEN: 100 per cent. Okay, thank you.

19 COHON: Sorry, Alberto.

20 SAGÜÉS: I wanted to maybe go to the other extreme of  
21 perhaps thinking, and that is that somehow when one is trying  
22 to assign numbers to bad things happening, and one is looking  
23 at it from an engineering standpoint, one may adopt the  
24 attitude of saying well, gee, let's look at the worst  
25 possible case, and at least with the one Expert Elicitation

1 with which I'm the most familiar, which is the Waste Package  
2 Degradation, I myself found myself thinking in that sense.  
3 Has anyone looked at the possibility that some of the numbers  
4 that went into the TSPA had suffered from a perhaps too  
5 strong of a conservative bias? And has that been looked at,  
6 if that thought has come up, has that been subject to any  
7 kind of an organized or quantitative examination?

8         ANDREWS: That's a very good question. I mean, look at  
9 it from both sides, you know, where we think could be pushed  
10 from being non-conservative or where it could be pushed from  
11 being conservative. What we've done generally in areas of  
12 conservatism is look at what if that conservatism was not  
13 there, you know, in other words, try to put some guesstimate  
14 of more realism.

15             One example that we did look at is once the waste  
16 form is exposed right now, so whatever containment there was,  
17 the waste form is exposed inside the package, we assumed that  
18 the entire waste form is in contact with water. In other  
19 words, there was no trying to guess, you know, is it 1 per  
20 cent or 10 per cent or 100 per cent of the exposed waste form  
21 that's in contact with water, i.e. the internals of water  
22 movement inside a degraded waste package were just beyond  
23 what we felt we could reasonably do. So that conservatism of  
24 100 per cent of the exposed waste form is in contact with  
25 water, we did do another one of these one off, you know,

1 sensitivity analyses similar to what we did with cladding in  
2 the other direction, and it has about that same magnitude of  
3 effect, especially on neptunium.

4           It doesn't have as dramatic an effect on iodine and  
5 technetium because they're very high solubility, but it did  
6 impact neptunium. But, you know, what is the amount of per  
7 cent of waste form that could be in contact with water, you  
8 know, it's not something you're going to model. It's not  
9 something you're going to predict. You're probably always  
10 going to make a somewhat reasonably conservative assumption  
11 on that, and then show, well, what if it isn't that. So look  
12 at it from the opposite direction.

13           Now, on the package side itself, which I think was  
14 the source of your question, there were a range of different  
15 local chemical environments that were elicited at the  
16 corrosion allowance material, corrosion resistant material  
17 interface. It was uncertain, and that uncertainty in part  
18 drove the uncertainty and distribution of waste package  
19 failures. You know, what is the local chemistry at that  
20 contact? We looked at other alternative interpretations of  
21 those, but still honoring the Expert Elicitation, because the  
22 experts, there wasn't a bi-modal on them. They were a full  
23 distribution of what those chemistries could be. So we  
24 looked at one extreme, the 25th percentile, and the other  
25 extreme, the 75th percentile, on that chemistry.

1           SAGÜÉS: Yeah, what I'm saying is that the experts'  
2 estimates may have been biased. It's quite likely at least  
3 in the case of prediction of metal failures, there is a  
4 distinct possibility that the bias may have been the  
5 conservative direction.

6           ANDREWS: That's very possible. We had no way of  
7 quantifying how much bias they might have had, how much  
8 conservatism they themselves were giving to their own  
9 estimates. All we can look at is did it make a difference,  
10 and we see yes, it made a difference on that particular  
11 component of the model, and as we go from VA to LA, assuming  
12 that this is our basic design, which it may not be here  
13 later, but that's still to be decided, then additional data  
14 are required to really definitize as much as we can what that  
15 environment is. And I think the waste package materials  
16 people have some ongoing tests to be much more explicit about  
17 what could that--what is the expected environment at that  
18 contact of the corrosion allowance material and the corrosion  
19 resistant material to address exactly that issue, plus have a  
20 better estimate of the range of likely degradation rates to  
21 begin with. I mean, the expert distribution well encompassed  
22 the observations. They were not guessing degradation rates  
23 without information. There was some information that they  
24 had, and they had available and they reasonably captured the  
25 range of degradation rates.

1 SAGÜÉS: But they appear to have reasonably captured it.  
2 What I'm saying is that human bias may be playing a very--it  
3 could be playing a very important role in the overall outcome  
4 of TSPA.

5 COHON: I'm sorry. Before we go on, I just want to get  
6 a sense of time and where we are. Alberto, you have more  
7 questions?

8 SAGÜÉS: I have a couple of very specific questions.

9 COHON: And then Priscilla Nelson does and Dan Bullen  
10 has a very tiny, very short question.

11 ANDREWS: We also have, just for your information, you  
12 know, we're trying to as we go into the viability assessment  
13 and completing it, we're trying to develop ways of explaining  
14 what variant are related and the complex system, so Holly has  
15 brought along kind of a mock-up of how this might be  
16 portrayed in a more general audience. But we can either do  
17 that at the break or as time permits. But, Priscilla,  
18 please?

19 COHON: No, let's let Alberto finish.

20 SAGÜÉS: Real quickly, on the--now going into perhaps  
21 the opposite direction here, on the juvenile failures, there  
22 was 1,000 years time assigned for that. Why not one year?

23 ANDREWS: We could have. We just said let's pick a  
24 time, let's pick 1,000 years. Our time steps were I think  
25 100 years, so we'd kind of be limited to 100 years.

1           SAGÜÉS: Because something was having an undetected  
2 manufacturing defect, such as a bad weld, say, I would expect  
3 for that to start showing difficulties just immediately;  
4 right?

5           ANDREWS: I mean, one of the reasons for a thousand  
6 years the time it takes seepage to restart after the thermal  
7 pulse has decayed, or is starting to decay, is on the order  
8 of a thousand years. So we said let's pin it to the amount--  
9 the timing at which you're likely to see seepage re-initiate  
10 itself. After the water has been driven away, and now it's  
11 coming back, that for the base case set of properties and  
12 parameters was occurring at in the 1,000 to 2,000 year time  
13 period, so we said let's put it there when there's water  
14 coming back.

15          SAGÜÉS: Okay. And the final question I have has to do  
16 with a slide to be retrieved, that will be Slide 29.

17          COHON: Forget it. It's gone forever. Can you ask it  
18 without the slide, do you think?

19          SAGÜÉS: Sure. Well, let me start it real quick. You  
20 assume a certain amount being released, and the question was  
21 whether that was released uniformly spread over the  
22 repository footprint, or whether it was a release at a given  
23 container?

24          ANDREWS: No, that was uniform over the repository  
25 footprint. So, in part, what you're seeing is a

1 representation of if things were spread uniformly, some areas  
2 of the repository block have higher velocities, have higher--  
3 less travel time, if you will, to the saturated zone. Some  
4 are longer.

5 SAGÜÉS: If there would be a puncture in one container  
6 release and it happened to be--you happened to have the bad  
7 luck at one of the areas of fast transport, then that could  
8 move the curves dramatically to the left; right?

9 ANDREWS: It wouldn't move the whole curve, but that one  
10 package or one location might have been this location or it  
11 might have been one corresponding to this location. So this  
12 distribution is more or less representing the spatial  
13 variability of arrival time from different locations in the  
14 repository footprint.

15 SAGÜÉS: Right. Okay.

16 ANDREWS: So it could be anywhere on this curve, but it  
17 couldn't be to the left of that curve for the present day  
18 climate.

19 SAGÜÉS: Sure. It could be at the left most angle where  
20 the curve starts.

21 ANDREWS: Yeah, it could be here. It could be here.

22 COHON: Okay, point made. Thank you. Priscilla Nelson?

23 NELSON: I am getting closer to understanding this  
24 overall document, Bob. But I feel encouraged enough to be  
25 able to ask this question. The concentration on time is

1 interesting, but Alberto brought up and started a point that  
2 is of interest to me, which is thinking about the spatial,  
3 source term nature in terms of you've divided the mountain,  
4 the repository block, into six areas and they have their own  
5 precipitation history, seepage history, infiltration history,  
6 and their own particle movement history through the mountain  
7 encountering or non-encountering perched zones, as I recall  
8 from the Albuquerque presentation. It occurs to me that  
9 there's probably some parts--I would like to see, if it's  
10 ever possible, the different responses, the different  
11 contributions of those areas to the term, and to wonder if  
12 there is one or more of those areas that are predominant in  
13 certain periods of time in terms of contribution to the  
14 dosage.

15           Off the top of your head, is there one particular  
16 area that is an early contributor, for example, in the first  
17 10,000 years, for example, the northwest?

18           ANDREWS: We have those plots in the draft VA document,  
19 for six different regions. The arrival time distributions,  
20 I'm trying to think off the top of my head, so I should look  
21 at the figure, the arrival time distributions weren't  
22 dramatically different, but the amount of water in each of  
23 those six regions was sufficiently different so that it  
24 affected the concentrations. There's enough difference in  
25 average volumetric flow through those different regions such

1 that that had a factor, I don't know, of two or something.

2 It wasn't a big factor.

3 NELSON: It was only a factor of two.

4 ANDREWS: Yeah.

5 NELSON: So if you, for example, were to identify one of  
6 those areas as being a major early contributor and perhaps of  
7 concern for whatever reason, the prospect of actually turning  
8 off or not using that component because it happens to be a  
9 high infiltration rate or whatever the situation is, have you  
10 investigated that at all?

11 ANDREWS: No.

12 COHON: Dan Bullen?

13 BULLEN: Bullen, Board. Just a quick observation that  
14 when you added your sensitivity and took a look at a C-22  
15 drip shield with its vastly improved performance of no  
16 release at 10,000 years and no release at 100,000 years, it  
17 seems to me that that sure looks like an inside out  
18 container. And so wouldn't you just want to flip the  
19 container design and not worry about the drip shield and take  
20 credit for that, or did I miss something?

21 ANDREWS: It's a four centimeter C-22, but if it was  
22 four centimeters C-22, what you say is more or less the case.

23 COHON: Dan has no problem with a four centimeter outer  
24 layer, I assure you. And you're generous, Bob, not to have  
25 said to him that is a design issue, not a TSPA issue, and I'm

1 sure it will come up again later. So thank you.

2           The last word, however, is not Dan Bullen's. Don  
3 Runnells has a comment.

4           RUNNELLS: Runnells, newly of the Board.

5           I have a number of specific questions about the  
6 chemistry, and so on, and I know this is not the proper forum  
7 for that. I'll wait for a different forum to ask those  
8 questions. But the question I would like to ask of you  
9 concerns the conceptual model upon which this analysis is  
10 based, and let me describe for you a reality that we observe  
11 in mines.

12           Yesterday, for example, at the N Tunnel complex,  
13 which was very helpful, we went in a short distance and  
14 walked in puddles of water. There was water puddled on the  
15 floor. So I would like to ask, and I don't want you to  
16 answer yet because I'm not quite finished, but that's one  
17 main point, is how does the conceptual model you've used here  
18 take into account the possibility of a free puddling of  
19 water?

20           The second thing that we observe in mines is a  
21 seasonal or even an occasional flushing of the chemistry.  
22 It's called the spring flush. During the dry season of the  
23 year, the minerals which are very, very insoluble, the  
24 sulfide minerals, oxidize and produce secondary products,  
25 which when the snow melts or the spring rains come, that

1 soluble material in the form of secondary minerals is very  
2 quickly washed out in the first two or three storms. And if  
3 we have an occasional El Nino, we see the same effect, but on  
4 a larger scale, a flushing of the dissolved metals.

5           That's the second part of my scenario, of my  
6 reality check on the conceptual model, so could you tell us  
7 how you incorporate or whether or not you incorporate these  
8 sort of factual observations into the conceptual model that  
9 you've described here, or that you've used here?

10          ANDREWS: Okay, let me take the second one first. All  
11 of the conceptual models of the unsaturated zone hydrology at  
12 Yucca Mountain would indicate what you say in the upper 50  
13 meters, maybe even upper 100 meters, above the Paintbrush  
14 non-welded units, that you would see very dramatic transient  
15 changes that quickly propagate--hydrologic changes that  
16 quickly propagate through that upper 50 or maybe even 100  
17 meters. But all of the assessments done so far would say  
18 that those, and all the models and all of the observations  
19 would say that underneath that Paintbrush, which is a non-  
20 welded tuff, that those transients, especially the short-term  
21 transients, are essentially damped out, so that you don't  
22 get, or the probability of getting short-term transients at  
23 the repository horizon is small. It may not be zero, and we  
24 have not analyzed the effect of short-term transients on  
25 releases from EBS. We did look at short-term transients and

1 their effect on transport through the unsaturated zone as a  
2 sensitivity study, kind of what if study, but not in terms of  
3 how it impacts distribution or timing of seeps into EBS.

4           On the first part of your question, the assumption  
5 is these packages are sitting on a meter and a half of invert  
6 type material, and then another half a meter or so of steel  
7 pedestals. Eventually, those steel pedestals will degrade,  
8 with the reference design anyway, those steel pedestals will  
9 degrade just like the package degrades, so that the package  
10 will come and sit on the invert eventually, and that invert  
11 will have, conceptually anyway, will have sufficiently  
12 degraded so it looks like, you know, a crushed rock or gravel  
13 or something like that conceptually anyway, invert at long  
14 time. Any liquid water that gets in and that could get  
15 either into or around the package and sit in the invert, it  
16 is possible that it could pond, but eventually the head would  
17 be sufficient and the permeability of the rock is sufficient  
18 to take that water away. So this is a very permeable rock in  
19 the fractures anyway, and a well draining, if you will, rock.

20           So, yes, it's possible if I had a cement floor that  
21 I would see ponding, or if I degraded the rock in such a way  
22 that the permeability really was significantly reduced, then  
23 I could have ponding. But under even a limited head, which  
24 wouldn't take much, it would find those fractures, and that's  
25 the conceptual assumption anyway, find those fractures and be

1 well drained.

2 RUNNELLS: Thank you.

3 COHON: Bob, thank you very much for a very good  
4 presentation, and a very good session. Thank you.

5 ANDREWS: Holly can walk through this visual part or--

6 COHON: Well, she can do that during the break, but  
7 we're not going to continue.

8 ANDREWS: Okay.

9 COHON: We're going to take a break now for five  
10 minutes, which is to say long enough for the Chair to get to  
11 the men's room and back, and we're going to reconvene.

12 (Whereupon, a brief break was taken.)

13 COHON: Could I ask the Board members please to return  
14 to their seats now?

15 We turn now to a presentation on repository design  
16 alternatives--could we please have quiet in the room? Thank  
17 you--by Michael Voegele, Deputy Director, to be assisted by  
18 Jean Younker. Thank you very much.

19 VOEGELE: Well, thank you for the opportunity to speak  
20 to you this morning about repository design alternatives.

21 We have described the reference design and its  
22 options, together with some features and alternatives that  
23 we're considering right now in the viability assessment. Our  
24 intention is to be able to consider a broad suite of  
25 alternative designs and eventually perform assessments of

1 those. Our ultimate goal is to provide an acceptable  
2 repository design for the site recommendation and the license  
3 application.

4           We adopted an approach to derive the design  
5 features that we're going to address in the viability  
6 assessment based upon some performance related criteria. The  
7 criteria that we used generally came from the Part 60  
8 additional design criteria, and the ones we focused on are  
9 primarily related to postclosure performance of a repository  
10 system. These were eventually supplemented by a few more  
11 closely related to worker and operational safety, and the  
12 ability to monitor important postclosure behaviors.

13           I'd like to make a distinction and try very hard to  
14 be consistent with that distinction as I talk to you this  
15 morning. I have a terminology problem. Being the person who  
16 wrote the last section of the viability assessment, everybody  
17 else had chosen all the good words, so I have to very  
18 carefully describe mine when I use them. I'm going to  
19 differentiate between the word design feature and the word  
20 conceptual design or alternative conceptual design, and  
21 that's deliberate because I want to draw a distinction  
22 between those particular pieces or components of the design  
23 which have the potential to enhance the performance of that  
24 design, or to make it more operationally efficient, as  
25 opposed to a different conceptual repository layout, a

1 different drawing for the way the repository would operate.  
2 I will be sensitive to that distinction and I'll try to point  
3 it out to you at the times where it's important.

4           We looked at these performance related criteria and  
5 we grouped them into a number of alternatives. The  
6 alternatives that we grouped them into deal with containment  
7 within the engineered barrier system, other possible  
8 engineered enhancements. We had a group called integrated  
9 effects of thermal loading, a group related to waste package  
10 production and emplacement operations, and a group related  
11 more closely to deferred closure. You can see the  
12 performance related criteria on engineered barrier design.  
13 Orientation layout and geometry are more related to other  
14 engineered enhancements. Thermal loading and ventilation are  
15 more closely related. Worker operational safety and  
16 eventually monitoring postclosure behavior are related to  
17 production and emplacement, and safe operations and  
18 retrievability options being maintained are more related to a  
19 deferred closure, or something related to closure of the  
20 repository system.

21           We developed a comprehensive, I believe, list of  
22 design features for the alternative categories. These things  
23 you might recognize as things being like the principal  
24 factors that were described by Bob Andrews in his talk on  
25 performance assessment, and to tie this back to a concept

1 that Russ introduced and that Bob used, the performance  
2 allocation concept, these are the types of things that one  
3 would be looking at if one were looking to do a different  
4 allocation of performance. If you had--relative to our  
5 reference design, there are different ways to achieve the  
6 performance that's required to meet a postclosure performance  
7 objective for a license. And so when I talk about these  
8 alternative design features, we were really trying to  
9 generate a comprehensive list of things that you could do to  
10 a repository or use to build a repository design that had a  
11 potential to make a more efficient or more cost effect or a  
12 higher performing repository.

13           Within the first category, the containment within  
14 the engineered barrier system, we described possibilities to  
15 look at, different waste package materials, especially one  
16 corrosion resistant material or two corrosion resistant  
17 materials, ceramics. We looked at barriers, drip shields,  
18 such as Richard's Barrier drip shields or diffusive barriers  
19 beneath the waste package, some sort of a chemical getter  
20 that we might put in the system that could prevent  
21 radionuclide migration.

22           We looked at internals, things like filling the  
23 waste package with some material. We looked at different  
24 emplacement modes. We were looking in particular for things  
25 like horizontal, ceramic line bore hole, a vertical bore

1 hole. The reason that says angled or herringbone there is  
2 because if you just have a simple vertical emplacement into  
3 a--excuse me--a right angle emplacement into a horizontal  
4 drift wall, you need a quite large drift diameter to be able  
5 to accomplish that. The reason we looked at a herringbone  
6 type emplacement is so that you wouldn't have to make quite  
7 so large of a turn, which meant we were looking at trying to  
8 do it with a smaller diameter waste package.

9           We'd be sensitive and call your attention to the  
10 fact that I used a different color for some of these. This  
11 is another one of my terminology issues. the things that I  
12 used in the lighter color, the whiter color, are things that  
13 generally look like they could be applied to any design.  
14 They look like things that could be applied to our reference  
15 design. They look like they could be applied to a different  
16 conceptual design. The things that I have highlighted in  
17 yellow here are things that we recognized from the outset  
18 would probably require a different conceptual design layout  
19 to be able to implement that.

20           So the things that are, as a precursor to where I'm  
21 going, the things that are highlighted in yellow are the  
22 things that are going to result in the different design  
23 layouts that I'm going to show you later in the talk. The  
24 things that are highlighted in white are things where we're  
25 doing studies and will continue to do studies on looking on

1 how they could enhance the performance of the reference  
2 design, or a different conceptual design. So there I'm using  
3 the term conceptual design and I try to distinguish that from  
4 the design features themselves. I won't belabor the point,  
5 but I may mention it again.

6           In the second category, other engineered  
7 enhancements, we looked at different ways to line the drift  
8 or not line the drift. We talked about potential for near-  
9 field rock treatment during construction to potentially  
10 impact the seepage into the excavation. We even talked about  
11 surface modifications. You recognize from some of Bob  
12 Andrews' plots that infiltration varies over the mountain,  
13 and it is a very sensitive parameter to performance of the  
14 repository, and we asked ourselves is it possible to do some  
15 surface modification that could have some impact on that.

16           We also looked at the integrated effects of thermal  
17 loading, and here is where we grouped most of the issues  
18 related to waste package size and spacing. We also looked at  
19 thermal load. We looked at some preclosure surface things  
20 that we could do, like aging the waste before it was  
21 emplaced, or blending it for a thermal management scheme, or  
22 for criticality. We looked at ventilation, and in  
23 particular, we looked at the potential for postclosure  
24 ventilation. We looked at waste package spacings, looking at  
25 the line loading approaches that you've heard discussions

1 about before, and we looked at revisiting the temperature  
2 limits.

3           The reference design is designed to meet specific  
4 limits related to cladding credit, performance of zeolites in  
5 the rock, rock wall and surface temperatures, and we looked  
6 at what would happen if you relaxed some of those temperature  
7 limits and looked at a different approach.

8           We have rod consolidation on our list, potential  
9 for backfill, drift spacing and drift diameter fall in here.  
10 Once again, the ones that are highlighted in yellow are the  
11 ones that we believed took us to looking at a different  
12 layout to be able to implement these effectively.

13           Category four, the waste package production and  
14 emplacement operations, the design features we came up with  
15 there were the waste handling building on the surface, it's  
16 production capability and throughput capability. We looked  
17 at waste package closure technologies, in particular for  
18 those waste packages that might involve shielding materials.  
19 We looked at the fabrication processes, the emplacement  
20 modes, and the accessibility to the waste packages. Here, we  
21 were talking about subsurface accessibility where we might  
22 use a shielded waste package for personnel access, like a  
23 self-shielded waste package.

24           Our fifth category was the one where we looked at  
25 the relationships between retrieval period and deferred

1 closure. We chose to link those together. They are not  
2 exactly the same thing. Deferred closure is a societal  
3 decision. If the society would decide to defer closure of  
4 the repository for extended monitoring, that's a possibility.  
5 It's very closely related to the technology related to  
6 retrieval as well, though. If you're going to demonstrate in  
7 your regulatory licensing process that you intend to  
8 maintain, for instance, a relatively easy capability to  
9 retrieve, then you'd have to also address the period of  
10 closure, because that is how long you would have to maintain  
11 the waste emplacement drifts. So we grouped those together  
12 there. So those were the list of features that we came up  
13 with.

14           Now, those design features that were independent of  
15 a specific alternative design, those are the lighter colored  
16 ones on the previous slides, we identified some of those in  
17 those categories, we believed that those could potentially  
18 improve the performance of the reference design, or in fact  
19 an alternative design concept as well.

20           We have initiated some design studies to  
21 investigate the potential for performance enhancement. I  
22 used the word performance rather generously to talk about  
23 cost benefit, all the dimensions that you would look at as  
24 you try to make a decision as to what's a reasonable  
25 alternative.

1           Okay, now, certain of those design features, the  
2 ones I highlighted in yellow on the previous screen, are best  
3 implemented in an alternative design concept that's feature  
4 specific. They generally reflect different layouts or a  
5 different basis for the disposal concept. Those are the ones  
6 that I am going to talk about the small number of alternative  
7 design concepts that were included in the viability  
8 assessment.

9           Okay, those alternative design concepts to  
10 different layouts generally address this grouping of those  
11 design features, the thermal loading grouping, which looks at  
12 area requirements, drift spacing, thermal limits like impacts  
13 on zeolites, the ground surface temperature. We looked at  
14 the near-field thermal limits, which dictate or influence the  
15 waste package size, the cladding temperature, drift diameter,  
16 waste package spacing. We looked at a ventilation approach,  
17 which dictates drift layout, drift diameter, drift spacing.  
18 and we looked at a waste emplacement mode, which looks at the  
19 waste package size, the arrangements, the spacing and the  
20 drift diameter.

21           I wanted to emphasize the viability assessment  
22 includes work plans for the studies and evaluations of these  
23 individual design features as well as for studies and  
24 evaluations related to the alternative design concepts that  
25 I'm going to talk about momentarily. And we believe those

1 design studies are needed to evaluate the performance and  
2 select the reference design for the site recommendation and  
3 license application.

4           In response to a question that Dr. Bullen asked  
5 when Russ Dyer was speaking, that particular schedule that  
6 you were looking at, that word initial license application  
7 reference design was very carefully chosen. We believe that  
8 we are going to, given the constraints of the budget,  
9 schedule work in the next fiscal year to do these design  
10 studies, and Jean is going to talk about that momentarily.  
11 And there's a potential that we will get to that point and  
12 not be able to down select to a small number--to a single  
13 license application design, and so we would like to limit the  
14 number of options that we carry forward, but the word initial  
15 was chosen to recognize the fact that there may be still some  
16 uncertainty at that point in time relative to that design.  
17 So I think we're trying to be sensitive to that.

18           I put this slide up just to once again reinforce my  
19 point. We have a viability assessment reference design, and  
20 the options. There's a fair amount of evaluation of the  
21 performance of those, the postclosure performance of those  
22 that was talked about by Bob Andrews. Within the viability  
23 assessment, we've identified a number of design features and  
24 a small number of alternative design concepts that will also  
25 be looked at. And so what's going to happen now over the

1 next year, and perhaps somewhat beyond, is we're going to do  
2 the evaluations, primarily focusing on the design features  
3 and the alternative design concepts, because we've done a  
4 fair amount of work on the reference, to lead us to that  
5 point a year from now, or so, where we can make an initial  
6 selection of our reference design for the site recommendation  
7 and license application design.

8           I think that what we're introducing here is an  
9 opportunity to have some interactions with the Board and the  
10 Nuclear Regulatory Commission on specific approaches that  
11 we're using to reduce--to do studies, system studies of these  
12 design features and their performance and cost, and select  
13 that initial reference design for the site recommendation. I  
14 think that could turn out to be the reference design. It  
15 could turn out to be the reference design with some  
16 modifications related to some of those design features. It  
17 could turn out to be one of the VA alternative design  
18 concepts, or it could turn out to be a concept we have not  
19 yet drawn on paper. As we do these evaluations of the design  
20 features, it may turn out that there is a design that might  
21 put some of those pieces together better than we've done any  
22 other way. So I think we're going to be sensitive to that as  
23 well.

24           Okay, the five alternative design concepts that I'd  
25 like to talk about this morning are, first of all, a waste

1 specific containment design, a low thermal load design,  
2 continuous ventilation design, an enhanced access design, and  
3 a modified waste emplacement mode design. I will not take  
4 the time to go over the reference design. Bob did that. If  
5 you have any questions about it, though, I'm prepared to put  
6 the reference design back up, and we can talk to that.

7           Okay, the first one of these, the waste specific  
8 containment design, is a design that has a unique container  
9 for each waste type. There was a question asked earlier, it  
10 may have been Dr. Bullen that talked about--one of the Board  
11 members asked a question about if you were--would you avoid a  
12 particular area of the repository if you knew it was going to  
13 have higher infiltration. The waste specific containment  
14 design is dealing with that concept, and that is you tailor  
15 the waste containers to the specific part of the mountain  
16 that you're putting them in. So if you knew that you could  
17 not get--you could get higher performance in a particular  
18 part of the mountain for a particular waste container type,  
19 you would put it there and you would put something else in a  
20 different part of the mountain if in fact you could get  
21 better performance by doing it that way. So you would  
22 segregate the waste into particular parts of the mountain  
23 where the packages were designed to promote long-term  
24 survivability of the packages. And the surface facility for  
25 this would have to handle a different number of container

1 types.

2           Okay, I'm going to have to do this because I can't  
3 put multiple slides up with the computer. I'm going to have  
4 to use both. I put up the picture of the reference design  
5 for this purpose, because our initial conceptual model, or  
6 conceptual design in our minds is something that might look a  
7 fair bit like the reference design in terms of the layout. I  
8 mentioned that we have a possible need to handle an  
9 assortment of container types and support multiple production  
10 technologies if we were using different waste container  
11 types. We think the layout could be similar to the reference  
12 design, but we also could consider a low thermal load  
13 configuration, and I'll show that one momentarily.

14           Within each drift, the arrangement we're  
15 conceptualizing at this point would be similar to the  
16 reference design. It would be an in drift emplacement  
17 design. And all the containers in a drift would be of the  
18 same type, and as I've mentioned, we would segregate the  
19 waste in areas, selected to match the performance  
20 characteristics.

21           One thing that is very obvious to a lot of people,  
22 over on the east side of the Ghost Dance Fault, there's a  
23 lower infiltration potential over there, so that might seem  
24 that we might put some of the waste over there. We might  
25 spread it out a little bit as well.

1           The next one I wanted to talk about is a low  
2 thermal load design. And you have seen I believe sketches of  
3 this before. This is one where we were trying to have an  
4 emplacement scheme that limited the drift rock temperature to  
5 less than 100 degrees C. What we were trying to do there was  
6 to keep the boiling fronts from coalescing in between the  
7 drifts to allow for free drainage out there, and we would  
8 modify the underground layout accordingly.

9           This is one where at first blush, you might  
10 conclude that a smaller waste package capacity would be used  
11 for this. That's one way of making a smaller thermal load.  
12 However, you also might be able to accomplish this by  
13 ventilation, so we don't want to close out that feature as  
14 well. The layout would encompass 2,500 acres. If you were  
15 to do the arithmetic and divide 70,000 metric tons by 25 MTUs  
16 per acre, you'd come out with 2,800 acres. However, if you  
17 take the 741 acres required for the high thermal load, which  
18 gives you--and which is at 85, that's 3.4, and you multiply  
19 those out, you'd get 2,500. So depending on how you figure  
20 your contingency, it's somewhere in the 2,500 to 2,800 acre  
21 site. It probably would require some additional site  
22 characterization. In this particular one, we've laid it out  
23 in the lower block, east of the Ghost Dance Fault, and we've  
24 over to the Jet Ridge area to take advantage of some of that  
25 area over there.

1           This is also conceptually thought of as an in drift  
2 emplacement scheme, and possible could, especially if we went  
3 to a smaller capacity waste package, could go to a smaller  
4 drift size than the reference design, looking at possibly  
5 reducing the maximum waste package capacity. In this  
6 particular conceptualization, we have not shielded the  
7 containers for personnel access.

8           Let me just go back and make my point again about  
9 the different design features that we're carrying studies  
10 along as well. Any one of those design features could result  
11 in an enhancement to the conceptualization that I'm  
12 describing here. So you have to think of these things in  
13 terms of each other. The reason there are five layout  
14 drawings in the viability assessment is because some of those  
15 design features needed a layout specific design to illustrate  
16 them. So they're not meant to limit the consideration of the  
17 design features; they're meant to illustrate how you might  
18 incorporate some of the design features.

19           Okay, we talked about a continuous ventilation  
20 design. Continuous ventilation design, the concept is one  
21 where we have continuous ventilation provided during the  
22 preclosure period, and that ventilation is continued after  
23 human presence in the repository is discontinued. That would  
24 be a closure concept.

25           This one, the surface facility could be similar to

1 the reference design or to a low thermal load alternative,  
2 and possibly would have to have some additional air shafts to  
3 make this ventilation happen. This particular sketch I put  
4 up here, because it short of shows ventilation cells, and the  
5 designers like that concept of being able to isolate  
6 ventilation cells. It gives them some other design features  
7 as well that they can deal with, fire protection, for  
8 instance. But this one has additional ventilation shafts  
9 along the west and east mains to be able to accomplish that  
10 ventilation.

11           Using natural ventilation pressure, using the  
12 actual tendency of the air which has thermal currents in it  
13 to be able to self-ventilate the repository can supplement  
14 both the preclosure ventilation, and it would be the means  
15 that we would be looking at for this design to achieve  
16 postclosure ventilation.

17           I have some sketches here and I'll try to show you  
18 some of those things that we're talking about. This is one  
19 where we're looking at a lower thermal load in a ventilated  
20 configuration, and the difference between the previous low  
21 thermal load design that I showed you, and this one, is  
22 primarily the extra air intake shafts that would have to be  
23 made available to provide for that ventilation.

24           In this particular design, the exhaust mains would  
25 be placed above the emplacement area, and so you'd see there

1 would be a fair bit of extra drifting to be able to  
2 accomplish that ventilation, and the engineers have done  
3 enough detail to have worked out a way that this could be  
4 achieved.

5           And in that context, the natural ventilation  
6 pressure cells in the postclosure could work sort of in a  
7 loop around, going down across the emplacement drifts, up to  
8 the central ventilation main, coming back across the  
9 performance confirmation drift, coming back down and working  
10 their way through. So you're looking at a natural  
11 ventilation circuit developing in the postclosure to provide  
12 some of that ventilation.

13           Okay, this is one of the models of technology. In  
14 order for you to have the same page numbers as I've got up  
15 here, I've got to put blanks in the electronic one. So sorry  
16 about that.

17           The enhanced access design is one where we looked  
18 at a self-shielded waste package design. It was designed to  
19 facilitate access for humans into the drifts where the wastes  
20 would be emplaced, and this one we believe eliminates most  
21 underground remote handling operations.

22           We're at the very early stages in trying to develop  
23 the conceptual understanding of what a design like this would  
24 look like, but at the surface, we believe there's a  
25 possibility that you would have to handle and close a thicker

1 walled waste package if the waste package material itself  
2 provided the shielding. If you had some sort of a clam shell  
3 that fit over the outside of it, that would be a different  
4 design technology.

5           We're conceptually believing that this would be a  
6 smaller waste package and, therefore, a higher number of  
7 containers and that would require a higher throughout  
8 capacity. This is one where rod consolidation, as Dr. Bullen  
9 has mentioned several times, could provide some relief to  
10 that.

11           With this particular one, we were looking at a  
12 lower thermal load or potentially a higher thermal load if we  
13 had ventilation to provide the cooling that we would need.  
14 This would be one where we would try to keep the drifts at or  
15 below about 50 degrees C., but the combination of potentially  
16 a smaller waste package, lower thermal loading, ventilation,  
17 all look at different ways that you can approach this lower  
18 drift temperature. And this would be one where it would be  
19 designed so that the radiation level within the drift would  
20 be low enough for human access.

21           This is one where the container itself was self-  
22 shielded, but an ancillary benefit is that a shielded  
23 transporter would not be required for this scheme.

24           Okay, the last one I want to talk about is the  
25 modified waste emplacement mode design. In this one, we're

1 looking at possibly putting the waste packages in a  
2 configuration where the repository itself could provide the  
3 shielding, either through the natural or engineered barriers.  
4 This one, we had vertical or horizontal emplacement in the  
5 floor or sidewall of the emplacement drift, and we also  
6 looked at trench emplacements in the floor.

7           Some of the old timers in the room are going to  
8 recognize this drawing. This is effectively the drawing that  
9 was in the site characterization plan for a vertical  
10 emplacement scheme. This was one where you would drill a  
11 hole in the floor of the waste package and set it in the  
12 floor and have a shield plug that would allow access within  
13 that drift.

14           This particular layout would not do much to reduce  
15 the diameter of the drift. You can reduce the diameter of  
16 the drift through horizontal emplacement. These are smaller  
17 containers that we've looked at right here, probably have to  
18 have an increase in the total number of containers. This  
19 would be a low or a moderate thermal loading for this option.  
20 I believe in the site characterization plan, we had about 57  
21 kilowatts per acre for this type of a design. You have to  
22 ask yourself, however, what about the thermal limits if  
23 you're putting a smaller container in a small bore hole. So  
24 that's a question we're going to look at again. It's been  
25 looked at before, and we'll relook at it again.

1           Let me put another one up. This is the one where  
2 you can achieve the smaller drift opening by having a  
3 herringbone angle, rather than going in perpendicular. This  
4 one is shown going in perpendicular. You could put that at  
5 an angle and then you would be able to achieve a smaller  
6 diameter emplacement drift. This one is designed so that  
7 it's self-draining, and in fact we've also talked about  
8 ceramic lining of these types of bore holes to provide  
9 additional protection.

10           This is one we looked at, which is a small waste  
11 package in a trench. This one's a little bit difficult to  
12 achieve the smaller diameter, because you need a fair amount  
13 of concrete here, although if we went to some sort of uranium  
14 concrete or other scheme, we might get more shielding there  
15 as well. So we're conscious--this one's more difficult to  
16 achieve the smaller diameter, but we think there might be  
17 some ways to do it.

18           In summary, I'd like to just wrap up, and I'm going  
19 to ask Jean Younker to stand up in just a moment and give the  
20 real summary to my talk. But the viability assessment  
21 describes work that we're going to complete between the  
22 viability assessment and license application time, and we  
23 have identified alternative design features and some concepts  
24 primarily as an aid to develop our work plans between now and  
25 that point in time.

1           We have started work on evaluating these features,  
2 and we will continue to do that to more fully develop the  
3 design features and the alternative concepts. We'll be  
4 looking at performance predictions. We'll be looking at  
5 costs of that material. And as I said before, an initial  
6 design will be selected in May of 1999 to carry forward to  
7 support the site recommendation and the license application.  
8 This will be based on our strategies at that time for how  
9 we're dealing with defense in depth, how we're dealing with  
10 design margin. Those could also change as the regulations  
11 become more specific.

12           We have a Nuclear Regulatory Commission regulation  
13 coming out roughly in that time frame, an Environmental  
14 Protection Agency regulation coming out in that time frame.  
15 Both of those can impact our approach to how we allocate  
16 performance, if you'll let me use that term, what particular  
17 features and components we put our primary reliance on, how  
18 we address uncertainty, how we build our back-ups.

19           So, Dr. Cohon, unless--if you don't mind, I'd like  
20 Jean to finish the talk, and then either she or I will take  
21 questions. Okay?

22           YOUNKER: Okay, now what we have here is the rest of the  
23 story, and I'm not going to go to the high tech, just in the  
24 interest of time.

25           What you just saw is kind of a symbolic hand-off in

1 a sense, because in our current M&O organization, Mike sits  
2 over in Jack Bailey's licensing directorship area, and  
3 they're the people who kind of put these strategies together.  
4 Mike chose the task force that generated the information  
5 you've just seen presented. I sit on the side that does the  
6 implementation, and so under Dan Wilkins and Collin Heath, we  
7 then accept that input, if you will, from the strategists,  
8 and we're going to go do the work. And so what I'm here to  
9 tell you is we're going to go do this work, and what we  
10 intend to do is on the slide that Mike already showed you,  
11 which is to end up with that initial SR/LA design selected in  
12 spring of next year, in May.

13           The way we're going to do that, just very quickly  
14 to tell you, is that we've decided to take an approach where  
15 we have an M&O program manager, someone you'll recognize, I  
16 put his name up here, Dick Snell, who used to be the  
17 underground operations manager, has been selected to  
18 coordinate all the activities related to taking this volume  
19 of information, all of the alternatives that Mike described,  
20 others that may still be added, all the design features that  
21 cut across those alternatives that potentially can be used to  
22 enhance performance. What we will then do is end up with  
23 that initial selection of the reference design. And of  
24 course given the time element and the time constraint, we  
25 felt it was really important to have one person who

1 essentially coordinates that work across all of the  
2 engineering organizations.

3           Clearly, we'll take a systematic approach. The  
4 exact way we're going to do the structure, the overall  
5 framework of this evaluation is still being set up, but we'll  
6 consider the need for margin and defense in depth in the way  
7 that Mike already said.

8           We have some preliminary evaluation criteria that  
9 have been developed by a little working group that has kind  
10 of transitioned the results of the task force that Mike  
11 chaired over into the line organization. We understand going  
12 into this that preliminary evaluation criteria we're likely  
13 to use would be the more quantitative in numbers like  
14 preclosure and postclosure safety, ease of licensing and  
15 flexibility. The second bullet and the last bullet tend to  
16 be the ones that will be a little bit more subjective, and  
17 exactly how we're going to treat those is certainly still on  
18 the table. Schedule and cost performance clearly will have  
19 to be looked at and traded off against safety.

20           The selection methods under development, as I said,  
21 the way we'll go about down selection is something that we're  
22 going to pay a lot of attention to. I think that both Dan  
23 Wilkins and Collin Heath believe that there may be some of  
24 the features where we have enough information right now to in  
25 a very careful systematic way document the basis for

1 eliminating that design feature, maybe eventually even an  
2 alternative, but at this time, we're going into this with the  
3 idea that the way in which we move from where we are right  
4 now to the selection of the SR/LA design has to be very, very  
5 systematic, very carefully documented, and you move through  
6 in a process such that we can track it from the suite we have  
7 now, any additions that we add to that final selection,  
8 initial selection, and then of course to a final selection.

9           What we have now is the framework. It gives us a  
10 basis. As Mike said, this is so important and so critical,  
11 we're heading into our very detailed fiscal year 99 planning,  
12 and so in order to do the evaluations that you all realize  
13 we're going to have to do to arrive at that selection of the  
14 initial design, there's some additional data we're going to  
15 need. There's certainly additional analysis that we'll need  
16 to support that evaluation. And so trying to get as far  
17 ahead of this as we can to get the right plans in place for  
18 fiscal year 99, and even to reprioritize a little bit of the  
19 work in '98, to the extent that we can, to make sure that we  
20 have the essential information to support the decisions that  
21 we will have to make.

22           And the last one just gives you a schedule that's  
23 in a plan that we've been working. Essentially, we'll try to  
24 get to somewhere in the October time frame having the full  
25 definition, as full as we can get, of the features and

1 alternatives that will be evaluated, then do the evaluations  
2 and the recommendation as a milestone in our current summary  
3 schedule in May of '99.

4           So that was the symbolic hand-off, and hopefully  
5 that became clear to you. We thought it would work this way  
6 to let me wrap up for Mike.

7           COHON: Indeed it did. Thank you. Questions, Dan  
8 Bullen?

9           BULLEN: This is a quick one for Mike. How easy is it  
10 to put the low tech viewgraphs up? Do you have--

11          VOEGELE: I have a full set.

12          BULLEN: You have a low tech set? Could you pull your  
13 Viewgraph Number 13 and Number 21 and Number 23? They are  
14 repository layouts if you're looking through it.

15                 Number 13 shows the ECRB cross drift as the  
16 enhanced characterization repository block, and if you put up  
17 Number 21, you have this continuous ventilation scheme which  
18 gives you that isolation that you talked about for fire  
19 protection and all that, which is really nice, and then the  
20 refinement of the mined area above the exhaust mains doesn't  
21 show me where the ECRB is on all this. And does the ECRB  
22 interfere with the potential to do that isolation for the  
23 fire protection, and does it mess up your flow patterns, if  
24 you will, for the exhaust areas above the mains? And has  
25 that been considered, and if not, maybe you'd better.

1           VOEGELE: That was one question; right?

2           BULLEN: Yeah, all at once. But what I want you to do  
3 is just look at the three pictures, and I don't see it on  
4 there, so just show me where it is, and does it hit those?

5           VOEGELE: Well, on this diagram, it would go right  
6 across, see roughly where it goes across there.

7           BULLEN: Right. So your isolation of the bottom four,  
8 or the four on the right, probably might not exist unless you  
9 do a real good job of closing them.

10          VOEGELE: Or we put the--we don't use a performance  
11 confirmation drift. We don't use the ECRB as a performance  
12 confirmation drift, and physically separate those two. If  
13 we're going to rely on that separation across there, we might  
14 not be able to intersect those drifts unless we're convinced  
15 we can actually build those fire walls or those ventilation  
16 walls.

17          BULLEN: And I agree. I guess the question that I have  
18 is in the current placement of the ECRB, is there a potential  
19 to compromise the ability to do this? And has that been  
20 evaluated?

21          VOEGELE: I do not believe it's been evaluated. I mean,  
22 the answer to that question has to be yes, there's a  
23 potential there because we haven't done the evaluation yet.  
24 I don't believe it will be difficult to do this at a  
25 different vertical elevation to keep them from intersecting

1 if we were not able to convince ourselves we could have them  
2 intersect. We still have an issue in the program relative to  
3 what the performance confirmation program looks like and,  
4 therefore, what the performance confirmation drifts look  
5 like. That still is unresolved.

6 BULLEN: And you know me, I'd always like an ECRB that  
7 goes east/west instead of northeast/southwest, but that's  
8 just my personal preference for keeping things simple, not  
9 making them complicated.

10 VOEGELE: And as you and I have spoken before, the  
11 reason that drift went at the angle that it did was to be  
12 able to give us more information about the geology. It was a  
13 compromise for us as well.

14 BULLEN: Right. I understand.

15 VOEGELE: We wanted to maximize the geological  
16 information.

17 BULLEN: I just wanted to make sure that it's not a  
18 problem later on.

19 COHON: Debra Knopman?

20 KNOPMAN: Knopman, Board. On, Jean, one of your last  
21 slides talked about using some kind of formal decision aiding  
22 process. You talked about criteria for evaluation, which in  
23 optimization lingo is objectives. You have a multi-objective  
24 problem with at least five objectives I think, if I counted  
25 right. I'd be very interested to hear what sort of

1 approaches to evaluating alternatives in a formalized  
2 framework you're entertaining at this point.

3       YOUNKER: What we've done is we've sought some advice  
4 from a couple of people. I'm sure that you would recognize  
5 names like Delafan Van Winterfelt and Steve Horra (phonetic).  
6 Both of these guys have worked in the decision analysis kind  
7 of world for some time. They're looking at where we are  
8 right now, and they're going to give us some feedback. In  
9 fact, we've talked with them once already about the  
10 approaches that we might consider taking, and so we're going  
11 to lay something out in the next couple of weeks and then  
12 talk with DOE about that to make sure that they're  
13 comfortable with the approach that we adopt. But essentially  
14 in the next couple of weeks, we'll be laying that out with  
15 some input from the right kind of folks.

16       COHON: Thank you. Priscilla Nelson?

17       NELSON: I'm must quickly follow up because Dan made his  
18 touch so gentle that it took me by surprise. And I expect it  
19 to be more forceful, so I feel compelled to enunciate I think  
20 the importance of incorporating the ECRB as a de facto  
21 opening in the mountain in all drawings that show the  
22 mountain and the repository as a fait accompli, and to make  
23 sure--there was a request longstanding I think from the Board  
24 to really have a document that shows the no impact or the  
25 evaluated impact of the ECRB on planning for future use of

1 the mountain space. And that's what he was requesting, and I  
2 think we'd still like to have that document that shows  
3 exactly that any trade-offs or compromises that might exist  
4 in the future have been considered in choosing that location.  
5 So we still look for that.

6 COHON: Dick Parizek?

7 PARIZEK: Parizek, Board. On Figure 21 that shows the  
8 ventilator shafts, are these vertical right to the land  
9 surface? And if so, might they be like drain pipes? Because  
10 if you have the possibility of perched water up on the PTn,  
11 you can almost imagine how you could vent water downward as  
12 well as upward by a natural ventilation system.

13 VOEGELE: The shafts along the outside edge?

14 PARIZEK: Yeah, they come clear to the surface of the  
15 ground?

16 VOEGELE: Yes, they do. These are in fact set outside  
17 the repository area in this conceptual layout simply to  
18 prevent that direct passageway of water into the repository.

19 PARIZEK: But then it could also be a drain pipe  
20 intentionally engineered in in order to get rid of water that  
21 might perch above?

22 VOEGELE: Certainly.

23 PARIZEK: Has that been considered as a possibility?

24 VOEGELE: As I said, we have just begun the studies on  
25 these as well. Many times we have features which

1 conceptually seem very attractive from a design perspective,  
2 but the question of demonstrating reliance upon them for long  
3 periods of time is a much more difficult issue, and often  
4 times, we back away and introduce conservatism into our  
5 analyses because we cannot determine how we could demonstrate  
6 to the Regulatory Commission, for instance, that we could  
7 rely on this for a long period of time. And so often there  
8 are things that other people believe we should be taking  
9 credit for that we can't figure out how to build a licensing  
10 argument that we could convince somebody that this would work  
11 as a drain pipe. So we typically walk away from those.

12       PARIZEK: A small hole in rock won't collapse and it  
13 will be a drain pipe, probably very reliable, assuming you  
14 had water to vent down that hole, which would be a PTn  
15 perched water some day in the future.

16       VOEGELE: I believe that. The geology is just perfect  
17 for making that happen, the dipping rocks above the  
18 repository horizon. It should work that way. The skeptical  
19 person in me would say what if pathways clog up as that water  
20 begins to move, and all of a sudden those drains become  
21 ineffective. Those are the kind of questions we ask  
22 ourselves. I don't know how to address Dr. Nelson's question  
23 that wasn't really a question, but I feel I need to say that  
24 there will be a comprehensive evaluation of all the  
25 interactions of the different components of the repository as

1 we look at these alternatives. That has to come out of this.  
2 We have to look at how to make these things happen.

3       NELSON: Okay. Well, just since you responded to that,  
4 what we were looking for was during the discussions at some  
5 point in the past, we heard verbally some discussion about  
6 the selection, but it was mainly geared towards the science  
7 in terms of the orientation. The impact of what it means to  
8 have a hole in the mountain, just simply an evaluation of  
9 that and an assessment is I believe the document that we  
10 would think needs to be done.

11               But I also want to ask you what is a metal lined  
12 drift? I've never seen a metal lined drift on a list like  
13 this before. Are you considering metal lined drifts?

14       VOEGELE: This is one of those questions where I can  
15 come at it from a number of different ways. We tried to make  
16 sure that we encompass a broad range of potential ways to  
17 deal with the problem without constraining them. We did not  
18 want to say, well, you know, I've never seen a metal lined  
19 drift so we won't consider it. I have stacks of comments  
20 that high on my list of design features saying you can't do  
21 that, just throw it out of the list. And that we felt was  
22 unfair. If the problem we're dealing with is seepage into an  
23 excavation, we asked ourselves the question what are the  
24 multiple ways of keeping it, you know, some sort of grouting  
25 pretreatment, some sort of a different lining, some sort of a

1 metal shield, you know, it's the drip shield moved up to be  
2 in contact with the rock wall. It was just a conceptual idea  
3 that I place no, in these slides, no personal prejudices or  
4 no--I'm not going to tell you whether I think it's a good  
5 idea. I'm going to tell you it's an idea that came up in our  
6 discussions, and it's one that we need to look at.

7 COHON: John Arendt?

8 ARENDT: Arendt, Board. Have you done any design work  
9 on the transport or the gantry that's going to be used? And  
10 have you done anything in regard to a failure analysis of  
11 these pieces of equipment or other equipment that may be one  
12 of a kind?

13 VOEGELE: You're talking about for the reference design?

14 ARENDT: Yes.

15 VOEGELE: Yeah, maybe I could ask Dan McKenzie to--I  
16 don't know how much risk analysis you've done, or how much of  
17 a failure analysis they've done on those gantries. I know  
18 they've done design analyses on them because I've asked them  
19 specific questions about why can't you do this with the  
20 gantry, and they say, well, that's because it fails this way.  
21 So he's got to have sort of an answer.

22 MC KENZIE: Dan McKenzie, M&O. We've done one design  
23 pass through the transporter and through the gantry, and we  
24 haven't done a whole lot of failure modes analysis. I think  
25 it's sort of inherent to do some of it when you design it,

1 and you think about what could break on it, so you try to  
2 make it as simple as you possibly can. We haven't done those  
3 kind of analyses that would evaluate all the individuals  
4 modes of failure and the consequences of those failures.  
5 That's in the future. We're really kind of slowing down on  
6 that since we've got a fairly wide range set of alternatives  
7 that we're going to evaluate. We may end up with a set of  
8 replacement equipment that looks radically different than  
9 what we have right now.

10 COHON: Debra Knopman?

11 KNOPMAN: This is a quick follow up to Priscilla  
12 Nelson's comment, which was a follow up to Dan Bullen's  
13 comment. And I just want to go back to the ECRB and the  
14 layout because when the scientific considerations were made  
15 and you employed a fairly exhaustive process of looking at  
16 alternatives for the layout of the ECRB, what I don't think  
17 was in the mix were alternative designs for the repository.  
18 And this we are at a critical decision point, you are, in  
19 terms of proceeding with the current design for the ECRB and  
20 the northeast/southwest trend. It doesn't have to be that  
21 way. It could be changed. It's not too late to change. And  
22 since you're now starting this analysis of alternative  
23 repository designs, there needs--it seems like you may need  
24 to go back and look at ECRB designs in that light.

25 Now, there's obviously the Board has an interest in

1 seeing this tunnel completed and there's a lot of scientific  
2 work that is on a critical path. On the other hand, we're  
3 all concerned, as you are hearing, about precluding some  
4 alternative designs because of a consideration that was made  
5 without those alternative designs in mind. So each of my  
6 colleagues was saying that in different ways. I just wanted  
7 to make sure we put a very fine point on this, that we hope  
8 there is a conscious decision made that this will not be then  
9 used as an argument against otherwise attractive alternative  
10 layouts or alternative repository designs.

11 COHON: I get the last comment and we'll close this  
12 session. I think it's very important that you consider and  
13 try to project the technologies that will be useful in the  
14 future so as to limit human presence in the repository. I  
15 think that if you don't do that, you run the risk of making I  
16 think what would be a serious mistake in terms of adding  
17 substantial cost to the design, even though it was not  
18 necessary.

19 Robotics technologies, and here I speak as  
20 president of a university that is very, very active in this  
21 area, robotics technologies are extremely powerful now, and  
22 if you project ahead an appropriate number of years to when a  
23 repository might open, they'll be that much more effective  
24 and more than that much more probably powerful. And,  
25 therefore, I think to fundamentally change a design to allow

1 more human access I think is probably not wise. But to make  
2 that determination, you've got to look at the technologies.

3           That was one person's opinion. That's not a Board  
4 position. Whenever I say this at Board meetings, I get  
5 yelled at by my colleagues.

6           Thank you very much. It's a useful session. Let  
7 me make one brief announcement with regard to our schedule.  
8 Because the TSPA session went longer than we had hoped, and  
9 the representatives from DOE had hoped, we did not have time  
10 to see the public version of the TSPA presentation, if I can  
11 call it that, and it is available and we would like to see  
12 it. I think the Board members would be very interested in  
13 seeing it. We're going to aim to do that at the end of the  
14 afternoon presentations, but we will respect the schedules of  
15 members of the public who want to comment and who don't want  
16 to stay to see that slide show. So it will come later if  
17 you're especially interested in it.

18           Now, as promised, we have about 15 minutes  
19 available for public comment, but let me negotiate with those  
20 who would like to comment. Before you choose to comment at  
21 this time, please consider your own schedules and the  
22 schedules of everybody else. We want to keep this to 15  
23 minutes so we can have a full 45 minutes for a lunch break,  
24 which already is abbreviated. That means in deciding whether  
25 you're going to comment now or not, please take into account

1 your own schedule. If you can stay till later on this  
2 afternoon and not comment now, please do so. And if your  
3 comment is not particularly connected to anything you've  
4 heard this morning, that's another reason to postpone it  
5 until this afternoon if you can be here this afternoon.

6           Now, with that, I will tell you that three, perhaps  
7 four people signed up. Let me just make a quick check. Tom  
8 McGowan, I know he signed up. Sally Devlin, you're on the  
9 list. Judy Treichel is on the list. Joe Ziegler, did you  
10 mean to sign up to make a comment, or did you sign the wrong  
11 list?

12           ZIEGLER: Wrong list.

13           COHON: Wrong list? Okay. So I have three people who  
14 would like to comment. Is there anybody else who would like  
15 to comment now?

16           (No response.)

17           COHON: Okay. Now, for the three people on the list, do  
18 you really want to comment now and hold up 80 people who are  
19 dying of hunger? Yeah? Ms. Devlin, please do. Now, I will  
20 ask, I'm going to be very strict in keeping this to five  
21 minutes, because you'll get another crack this afternoon.  
22 Okay?

23           DEVLIN: I will, but I have to say something because  
24 Lake Barrett always leaves and this will be my first  
25 opportunity to get to him.

1 COHON: He's staying. He's staying.

2 DEVLIN: Are you staying?

3 BARRETT: I'm staying all day.

4 DEVLIN: All right, I'm going to be very brief.

5 COHON: Okay, thank you.

6 DEVLIN: And that is I want to thank you all for coming  
7 to Nevada. As always, we hope you have been properly  
8 welcomed, fed, housed and all the good things. But what is  
9 most important, and again I am saying with Lake, and that is  
10 I want to thank everyone for sending me all the information  
11 that I required, particularly Carlos, who gave me all the  
12 definitions of the different classifications of waste. I got  
13 some more from somebody else. I got some from UNLV. And  
14 they all rather coincided, and so this really is what I am  
15 bringing up. On Lake's report, he did something that  
16 offended me, and I'm going to say it publicly because I never  
17 say anything behind his back, and that is you used the Royal  
18 Plural we, we will, we are, we this, and as an old  
19 toastmaster, you don't use the Royal Plural in your reports.  
20 you are a group of people, and it is--I've never seen this  
21 in the Board reports. They say the Board this or whatever.  
22 I don't know who you're working with, and I would like to.  
23 But it isn't we, and it sounds like it's a done deal and I  
24 very much resent that.

25 The other thing is if you remember three years ago

1 October, I read the Congressional report that stated that the  
2 Naval spent fuel could have 10 per cent in the mountain, and  
3 everybody went, oh, we didn't know that, or oh, my God. And  
4 so this has progressed quite a way in the last three years.  
5 What is bothering me, as of course you all know that I have  
6 read all the INEL reports and I just read Lake Barrett's  
7 report, and I think the thing that bothers me the most is of  
8 course you know I pick up the phone and call everybody, and I  
9 did call Captain Carver and I spoke to him regarding the  
10 Naval spent fuel, and I said, "Why in the world do you want  
11 300 canisters for 5,500 metric tons of spent Naval fuel," and  
12 he said, "Well, we're going to put in mixed waste." And I  
13 said, "What kind of mixed waste," and he said, "It is  
14 classified."

15           Well, you don't say classified to this old lady,  
16 and we have just gone through a whole bunch of things that  
17 you're going to do with the canisterization. I have attended  
18 all of those meetings. I have given you--for  
19 canisterization, and I can't figure out quite what you are  
20 doing with all this canisterization, because of the wrapping,  
21 or is it going to be copper, is it this or that, I really  
22 think you are doing this at the surface, not explaining it.

23           COHON: Excuse me--

24           DEVLIN: But I certainly don't want anything classified  
25 in my mountain and I think this needs a lot of clarifying.

1 COHON: Excuse me, Ms. Devlin. The answer might be  
2 lurking behind you. Did you want to respond to Ms. Devlin?

3 SMYDER: I'm Jim Smyder. I'm the Naval Reactor's  
4 Representative at Yucca Mountain.

5 Sally, first of all, the Navy has no mixed waste or  
6 no hazardous waste.

7 COHON: Hang on. Could you raise the mike?

8 SMYDER: The Navy has no hazardous material or mixed  
9 waste that we are providing to the repository. The Navy is  
10 providing 65 metric tons of spent nuclear fuel. What we are  
11 providing to the repository is identified in our spent fuel  
12 container system EIS that we issued in November of 1996 that  
13 I will provide to you later this afternoon if you'd like  
14 that. And I don't know who you spoke with, the name isn't  
15 familiar with me. Well, I'll tell you what; I'll give you a  
16 name when we leave here today, and I'll give you my name,  
17 too, but we have 65 metric tons, which is .1 per cent, less  
18 than one-tenth of 1 per cent of the total that's going into  
19 the repository. But the only thing that's classified about  
20 our material is our design, and we are closely linked, we  
21 being Naval reactors, is closely linked to the Department of  
22 Energy, both through Lake Barrett and through Dr. Dyer in  
23 incorporating our fuel into the repository. But we have,  
24 like I said, we have no mixed waste, so you've been  
25 misinformed there and we'll attempt to clarify that, and our

1 report issues everything that we're doing.

2 COHON: Good. Thank you very much.

3 DEVLIN: But you heard classified in our design, so  
4 we're talking about lots of different waste. We've been on  
5 fissile fuel, we've been on all these things and there is a  
6 question mark as to all these different heat elements and  
7 what have you. Thank you.

8 COHON: Thank you. Ms. Treichel, do you want five  
9 minutes now?

10 MS. TREICHEL: No.

11 COHON: Thanks, Judy. They all want to speak with you,  
12 Lake. That's very nice. Mr. McGowan, five minutes, and I'm-  
13 -your time just started.

14 MC GOWAN: I'll try to meet the challenge.  
15 Incidentally, off the record, I think it should be off the  
16 record, you have the same standing ovation in the lonely  
17 conceivability of the perception of many of the people here  
18 with regard to the option to leave in toto one way and  
19 permanently any time you so desire. The public is here not  
20 because we choose to be here, but because somebody better be  
21 here. But that's simple, unpaid, voluntarily. Hello, Dr.  
22 Abe.

23 Mr. Chairman, esteemed members of the Board, key  
24 staff, many attendees, my name is Tom McGowan. I'm an  
25 individual member of the interested and affected public

1 residing in Las Vegas, Nevada. In preface, I commend your  
2 dedicated efforts to date, with the admonition that I  
3 expressed the same sentiment to the World Cup U. S. Soccer  
4 team prior to the defeat by Iran. It's okay to laugh once in  
5 a while.

6 In an agreement with Chairman Cohon occasioned  
7 during mutual visits to the coffee urn, it was determined  
8 that by noon, public comment, which is now, would not exceed  
9 substantially less than the allotted the minimum five  
10 minutes, offset by the as yet unresolved demand that my  
11 comment following alternative afternoon session prior to  
12 adjournment, may continue for an enduring term, conceivably  
13 as much as six or seven seemingly interminable minutes, or  
14 until the arrival of my ride, whichever shall occur sooner.

15 Thus, in the reasonable assumption of the  
16 Chairman's nod of tacit approval, I can't see for the  
17 reflection--

18 COHON: Yeah, your time is almost up.

19 MC GOWAN: This is time, incidentally, about a minute  
20 and a half a page.

21 COHON: Okay, I'm sorry.

22 MC GOWAN: Feel free, reinforced by a two-thirds  
23 majority vote of the members of the Board. Have you got two-  
24 third here? Yeah. I'll proceed unabated and forthright  
25 disclosure of the salient highlights of my late afternoon

1 dissertation in what may be the briefest address of my entire  
2 career, and consistent with my firm hope and belief that the  
3 DOE OCRWM site suitability characterization study and  
4 licensing aberration shall require and ultimately endure in  
5 terms of scientific certainty and viability, substantially  
6 less than the total allotted public commentary time. In my  
7 opinion, you've exceeded your time constraints long ago.

8           Forget about budget. That's indisputable. So  
9 stated, mindful of the historical DOE pensient for exhaustive  
10 presentations, which seemingly begin with once upon a time,  
11 and proceed to where working on it, then ends summarily with  
12 happily ever after, in the highest traditions of the best of  
13 the Brothers Grimm, barely reinforced by the multi-faceted  
14 insight, suppressed by the legendary opening remarks of  
15 Director Lake Barrett, and perhaps recommendation of the  
16 Board's Congressional persuasive capability and intent, if  
17 not to spite--at least in ultimate acknowledgement of the  
18 expedient velocity of defense in depth of that which thereas  
19 and thereby and here futably self-evident, as intrinsically  
20 indefensible, I would readily assert my individual layman's  
21 opinion as--and here it comes--adamantly supportive of the  
22 scientific validity of both the Jerry Schzimanski (phonetic)  
23 and the Charles Hockenbull (phonetic) hypotheses, and of the  
24 recommendation of the scientific testing, and on the  
25 approval, or to otherwise defy the disconcerting accumenic

1 fact of the underground hydrogeologic domain among other  
2 things throughout the vast cosmos is naturally ordered as in  
3 the state of dynamic flux, ongoing and continuing from  
4 inception to eventual decision, or in the sense of  
5 reiteration.

6           Thus, the fondest hyperbaric envisionments of Dr.  
7 Jared suggest honest Abe Van Luik, among other supports of  
8 evolution is not a worst yet self-induced and securely  
9 entrapped between a welded tuff, a fundamentally flawed  
10 reasoning in which we're damned if it is and damned if it  
11 isn't. But that's one day Dr. Van Luik and his apparent  
12 quasi aspect as a member of the general public, unaffiliated  
13 with DOE at this point. Have you resigned yet or been asked  
14 to? They didn't think of that. And I only have two words  
15 for them. Love ya. I think I'm going to forego the rest of  
16 this in deference to me. My throat is getting dry, and  
17 apparently--a standing ovation.

18       COHON: You get applause.

19       MC GOWAN: That's why he gets the laughs. Thank you  
20 very much for your time and interest.

21       COHON: Mr. McGowan, thank you. Thank you for  
22 respecting our time limits. It's nice to have you back at  
23 our meetings.

24           We now will take a break until 1 o'clock.

25           (Whereupon, the lunch recess was taken.)

1

2

3

4

AFTERNOON SESSION

5 COHON: Please take your seats. We begin this  
6 afternoon's session with a presentation on Post Closure  
7 Safety Case by Jack Bailey, Director for Regulatory and  
8 Licensing.

9 Mr. Bailey?

10 BAILEY: Thank you, Dr. Cohon.

11 COHON: Thank you.

12 BAILEY: Great. I appreciate the saving of the  
13 technology as a podium now, if not actually for use.

14 I'm going to talk today about post closure  
15 evaluations. We call this the Post Closure Safety Case. I'm  
16 going to draw heavily from Volume 4 of the Viability  
17 Assessment, which is where we talk about the license  
18 application plan. How do we get to the license application?  
19 I'm, of course, sensitive to the discussion earlier today  
20 with regard to the fact that there is a site recommendation  
21 and a license application and that they are heavily  
22 intertwined. And so you'll see throughout my presentation  
23 site recommendation and license application sometimes singly,  
24 sometimes as both. But we, of course, are sensitive to that.  
25 The intent is to briefly discuss our approach to

1 the SR and LA planning. You've had a full morning of what do  
2 we know, what do we learn from this assessment of the  
3 viability design and the science associated with it and  
4 discussion of alternatives which have to be considered, and  
5 somehow we have to have a path forward. So the license  
6 application plan is going to push a path forward.

7           Dr. Dyer identified that I'm going to talk  
8 performance allocation. This is clearly a performance  
9 allocation process. It doesn't select the license design  
10 this morning or this afternoon, but it puts us on a path to  
11 try and find means by which we can decide what's important  
12 and what's not important, what to focus on and how to put the  
13 whole sets of pieces together. And as such, it becomes a  
14 difficult presentation because you want to talk about  
15 understanding, you want to talk about defense-in-depth, you  
16 want to talk about license ability, and when you put all of  
17 those together, it gets a little touch. And so I'm going to  
18 try and keep those separate and bring them back together a  
19 little later in the presentation.

20           The goal is to develop a process and make choices  
21 on how to move forward. And remember that we did this on a  
22 reference design, a snapshot taken of a design we chose  
23 sometime ago. And clearly from the alternatives, and,  
24 frankly, from what we've learned about the system with our  
25 tools, the performance assessment, we rethink what goes

1 forward. In other words, this was a snapshot. We learned  
2 from it, and now we have to move forward. And that's what  
3 the talk is about.

4           Hopefully, you saw a progressively improving  
5 understanding of the repository system. Over time we should  
6 be watching as this gets better and better. The natural  
7 features, we think we have a general understanding of the  
8 behavior of those features. We believe we have some  
9 reasonably bounded parameters. We certainly have uncertainly  
10 associated with them, but they're reasonably bounded, and if  
11 they aren't, then we need to work to do that or take them out  
12 of the mix if we don't know. And there's testing and data  
13 that may yet be needed to close on those items.

14           Once we have the natural features known, the next  
15 system, move to the engineered features. What do we do with  
16 the engineered features to take advantage of the environment  
17 that we now believe we understand inside of Yucca Mountain?

18           Then you have to go to the system performance, and  
19 we believe we have the tools, based on what you saw from Bob  
20 Andrews this morning, and we may have to manipulate them in  
21 some different ways to come up with some different answers,  
22 as was suggested, but we believe we have the tools now to  
23 take the natural features, blend in what's happening with the  
24 engineered, and come up with an understanding of how the  
25 whole system works. And that's what the Viability Assessment

1 has told us, and what we want to do is use those tools to  
2 decide how to move forward.

3           So the VA assess the natural features, the  
4 reference design, and then the design options to show the  
5 ability to change and identify and work with new features  
6 that could have an overall effect on the results.

7           The LA Plan has to focus on understanding of the  
8 reference design and the options. We don't want to just lash  
9 something together and go forward with it. We want to get an  
10 understanding of each piece. Part of the reason that we had  
11 Bob Andrews break it down into a series of factors, to  
12 understand what are the primary pieces that make up the  
13 system and how well can we understand that system.

14           The identification and importance of the critical  
15 elements to overall performance, let's look at what's  
16 important. Let's not spend our time on things that aren't  
17 important. What are the uncertainties associated with these  
18 critical elements? How broad are they? Are we pretty  
19 confident; we know exactly what it looks like, or is it  
20 pretty broad? Is it a broad range of performance, and do we  
21 know where the central tendency is, or could it be anywhere?  
22 And can we use the performance assessment tools to grab and  
23 do sensitivities on different ranges inside of that  
24 uncertainty? And when we do that, are there tradeoffs when  
25 we have these uncertainties? Can we trade something off?

1 And I'll come back to that.

2           And finally, we have to go to the consideration of  
3 the design alternatives, which Mike Voegele talked about, and  
4 additional design features. Take what we know and put more  
5 into it to try and get to closure.

6           Now, Lake Barrett this morning discussed some of  
7 the potential licensing strategies, in particular defense-in-  
8 depth. I came out of pretty much the same life that he did,  
9 so I think of it in terms of lots of barriers. I'd like for  
10 them to be redundant. Actually, one is the double thick  
11 waste package is a way to look at that, or diverse, something  
12 by which it fails by means of a--has a different failure  
13 mechanism. One of the obvious interest in ceramics, it's  
14 going to fail in a different manner than is the metals. And  
15 when you can take an uncertainty of how the metal behaves and  
16 an uncertainty of how ceramic behaves, the total uncertainty  
17 in the system should be reduced.

18           And finally, we have to think about the detail  
19 necessary to docket the license application. What do we  
20 really have to know about these systems? To put it very  
21 simply, what you have to know about the dynamics of wind or  
22 loading on a quonset hut is a lot different than on the front  
23 end of a jet airplane. So it's how much do you have to know.  
24 We don't have to know everything about everything. We have  
25 to know enough to characterize the problem properly and have

1 proper interactions and come up with an answer with  
2 uncertainty that we can believe. So we have to use all of  
3 those items in order to move forward for a licensing case.

4           On your charts, I'm afraid the arrows didn't come  
5 through on the black and white charts. The arrows didn't  
6 come through. But to try and put what I just said into a  
7 chart, you'll see over here we had attributes and hypothesis  
8 testing, the repository safety strategy that Russ Dyer talked  
9 about this morning. What do we think is the approach that we  
10 should use inside the mountain to be successful in isolating  
11 waste, and what are the major hypotheses that we have to go  
12 work on? What is the testing we need in order to get there?

13           We've done the bulk of that type of work, and we've  
14 moved to the next stage, and the next stage was to move to  
15 this VA assessment, whereby we picked our principal factors.  
16 And for the reference design, as it shows, we had 19  
17 principal factors, and we had two additional principal  
18 factors that came about because of the drip shield, the  
19 ceramic coating and the backfill and those combinations. And  
20 I'll have a slide that will talk about that a little bit at  
21 the end.

22           But we're now focusing on what does each factor  
23 mean to us. We're refining our knowledge to move forward  
24 with each piece of this rather than standing back here at  
25 general gaining of knowledge. We believe we've closed in

1 enough on the general knowledge so that we can focus on  
2 specifics.

3           Now, let's ignore this side, these two boxes for a  
4 moment, and what that means is we need to evaluate and  
5 understand the principal factors. We have to get that  
6 importance to performance, which ones are the most important.  
7 What's our quality of understanding? How comfortable are we  
8 with what we know? Do we believe it represents it, and how  
9 much uncertainty? And how much can we know? What's our  
10 projected quality of understanding? If we're moving to a  
11 license application in 2002, we have to be frank and say, how  
12 much more can we know in the next couple of years. So we  
13 have to think through what can we really know and then assign  
14 a strategy that takes advantage of what do know, what we can  
15 know, and see if we can be successful.

16           Now, with that, we have to consider the licensing  
17 aspects, which again are performance margin. The margin  
18 might be in the design end by making it thicker than it has  
19 to be, for example, or it might be in the performance end by  
20 establishing an artificial, if you will, or a forced margin  
21 below a proposed standard, below a standard, so that you  
22 don't approach the standard and you have some margin to deal  
23 with your uncertainties and your unknowns; and defense-in-  
24 depth where you try and look at redundancy and diversity.  
25 And defense-in-depth can happen within attributes or within

1 factors. We have to think of it in both of those terms.

2           Now, if you do that with the reference design, we  
3 would go through the reference design, try and come up with a  
4 solution and move forward to an SR/LA design.

5 Straightforward process; if we weren't going to consider  
6 anything else, we'd take everything we have in the Viability  
7 Assessment, everything that we've learned, and try to come up  
8 with a license application design.

9           However, as you heard and you're aware, we have  
10 design alternatives; for example, a low thermal load or a  
11 waste package emplacement mode, which change the basic  
12 configuration of the facility, or a series of features which  
13 I didn't list, but which are those things which we could add  
14 to almost any design to try and improve its performance.

15           And then what we have to do, and this is an  
16 important point, we have to go back and identify sets of  
17 principal factors for the new design. And what's important  
18 in today's design may not be what's important in a different  
19 design, and, in fact, it may not even be the same set of  
20 principal factors. If we factor in just the options for the  
21 reference design and we start putting alternatives and  
22 additional features, then we may shift the importance to  
23 different portions of the system, and it is a system problem  
24 that we're trying to work on. How do we get the entire  
25 system to perform?

1           So what our chore is and what was described earlier  
2 is to take these alternatives and work this whole process  
3 again putting all of those pieces together to come up with a  
4 design that we can move forward with for the SR and LA.

5           So as I said, I can't choose, I can't identify to  
6 you our SR/LA design today, but I can talk about the process  
7 and how we're going about making those selections with the  
8 recognition that as we do these developments of these areas  
9 and redo principal factors, that we're going to use basically  
10 the same process.

11           Now, Volume 4 is clearly under development. It's a  
12 part of the Viability Assessment. We're still discussing  
13 what it is. Some of the numbers are subject to change as we  
14 work through the system and bring all the pieces to bear. As  
15 it was said, values in the tables have changed in the last  
16 month. Some have changed more recently than the last month,  
17 and so we're constantly looking at what the system does and  
18 what we can learn about it.

19           Now, at this point, I revert to the old life. A slide  
20 of mine didn't make it into the presentation, I'm sorry to  
21 report, and it was put on your desk, I believe. It says  
22 "Jack Bailey" on the top of it. You don't give it back to  
23 me. It's actually for you to use. And in this I'm going to  
24 talk a little bit about what the VA was about and what the  
25 SR/LA design is about because they're different, and we've

1 heard a lot about it today.

2           The VA design focus was to use expected values.  
3 What is happening in the system as best we believe it, the  
4 mean of the uncertainties? What do we think is really going  
5 to happen in the system and how is this system going to work  
6 in the way that we believe it's going to happen? And so we  
7 tended to work expected scenarios and we look to see what  
8 kind of a result we got from expected scenarios; pretty  
9 straightforward.

10           And you'll notice that there is a performance  
11 measure placed up above. We don't have a regulatory  
12 standard. We don't know exactly where that's going to be,  
13 and this is, of course, artificially placed. We have some  
14 planning guidance to look to, but basically we don't have  
15 that performance standard set yet, and as we said, we're  
16 dealing with expected values.

17           We then took a look at options, and we looked at  
18 the options to see what does the option actually do for us,  
19 and, in fact, the options provide us with some improvement.  
20 And that's what the VA design focus is, it's to learn about  
21 the system.

22           Now, Bob Andrews also talked a lot about different  
23 sensitivities that were run so that we have some  
24 understanding of what happens to the system as start to  
25 perturb it in a runoff situation and see which of the options

1 or which of the factors dominate when you start doing those  
2 kind of evaluations.

3           For the license application, we have to run a  
4 scenario basis we believe. We have to do--

5           CRAIG: Could you explain--

6           BAILEY: Certainly, I'm sorry. This was on any given  
7 scenario, what the probability of distribution would be of  
8 the parameter, flux for example. It might range from zero to  
9 30, and we took the central tendency here, or the expected  
10 scenario, as our likelihood of occurrence. We took the  
11 largest value.

12           Over here, we're dealing with time and dose rate.  
13 And again, it's for the specific scenario. It's the range or  
14 the probability distribution function of what the feature  
15 could possibly have as its potential values.

16           For the SR/LA, we believe we have to do a sampling  
17 of the entire range. As Bob showed you with his multi-  
18 realization charts, you sample lots of these in lots of  
19 places, and you end up with different answers that says you  
20 have this large range that it could actually appear between.

21           We don't know yet what the regulatory basis will  
22 be. Will it be a mean of all of those, will it be a 95th  
23 percentile of all of those? Will it be a mean with some  
24 required margin? We don't know what the answer to that is  
25 going to be, but we recognize that we're probably going to

1 have to deal with the entire suite at this point.

2           Further, the defense-in-depth is going to take us  
3 into the low probability scenario, a tail of the curve, which  
4 might be either end, depending upon which is more limiting to  
5 the facility. And we're going to have to evaluate it, and  
6 it, in fact, may cause a larger perturbation. So we may have  
7 a very robust design with lots of options or features added,  
8 which is going to form a basic scenario very low, but we may  
9 take a low probability event and see what kind of a result we  
10 get for it if we took it in the deterministic manner.

11           And that's one way to treat defense-in-depth; not  
12 necessarily the only way to treat it, but that's one of the  
13 ways that we're thinking in terms of, of doing the runoffs  
14 with regard to the low probability event, but that low  
15 probability event having a large impact outside the  
16 repository.

17           So we work very hard here to get an understanding  
18 of the system, and then we have to put together a system,  
19 which likely will be more robust than the present system  
20 because it has to be evaluated in a different manner, and it  
21 has to deal with the defense-in-depth strategies.

22           With that, we'll look briefly at the Post Closure  
23 Safety Case that's laid out in Volume 4. And what that is,  
24 is focus on the elements, provided reasonable assurance that  
25 public health and safety will be protected.

1           We need a comprehensive understanding of the  
2 natural and engineered features. That's what I'm going to  
3 talk about as we go forward in this presentation. We have to  
4 understand the system, and we have to understand  
5 computationally how to work with the system.

6           Now, there's some pieces, which I'm not going to  
7 talk to you about today, but I want to cover quickly, and  
8 that is, as I said, we have to incorporate design margin and  
9 the defense-in-depth. There are several ways to accomplish  
10 that, but we have to do it. That may, in fact, add features  
11 to the design in order to accomplish that, which may, in  
12 fact, cause the expected case and the overall results to get  
13 better, but we have to deal with the how to add the defense-  
14 in-depth with the margin into the design.

15           We have to have explicit consideration of  
16 disruptive processes. It's very nice to work on the system,  
17 but if a volcano is going to take it and move it away, then,  
18 obviously, we don't want that to happen, and we are working  
19 those issues to show that from a disruptive point of view,  
20 that they will not disrupt the facility unacceptably.

21           We have to look at the supporting information from  
22 the natural and the manmade analogs. We have to be able to  
23 answer the question such as posed this morning of the spring  
24 flush. We have to think about what all those pieces are and  
25 make sure that we have the understanding that says this gives

1 with how we see these things operate in nature. So we have  
2 to have that piece of credibility.

3           And then finally, we have to have a performance  
4 confirmation plan which demonstrates that we have the ability  
5 to measure those parameters that ultimately will identify  
6 that the facility is behaving and performing in the same  
7 manner as our analysis. All those pieces have to be done.

8           In addition to that, there's a lot of other work.  
9 There's a preclosure, as was discussed, and some questions  
10 have been asked. We have operations. There's emergency  
11 preparedness. A whole bunch of things have to be done to  
12 write a license application, but we're going to stick to the  
13 post closure here in this discussion.

14           Now, if we go back to the attributes of the system,  
15 we try to limit the waste package environment, make the waste  
16 package robust, keep it in the package as long as you can,  
17 and then reduce the concentration as it migrates. It fits  
18 fairly well with what we discovered. The majority of the  
19 radionuclides in the repository are not particularly mobile  
20 in the Yucca Mountain environment, certainly not at the time  
21 of emplacement. They're either insoluble or they sorb  
22 strongly in the local--the remainder could be transported by  
23 water movement. That's what we discovered sometime ago,  
24 certainly no news with regard to the four attributes. And  
25 the natural features are, in fact, favorable for limiting

1 transport by water. There isn't a great deal of water  
2 movement.

3           And finally, the site provides a predictable and  
4 stable environment for the engineering.

5           Now, with those thoughts in mind, if we move to  
6 performance allocation, what do we need to know? I'm going  
7 to do this twice so you'll get a couple of chances to ask  
8 questions.

9           We have to understand the required performance of  
10 the system. I keep coming back to that. We have to  
11 understand what we're dealing with, and that is the four  
12 attributes. We have to understand the factors that affect  
13 the performance of the system. Those change from design to  
14 design, but we've done it for the Viability Assessment.

15           We have to determine the importance of those  
16 principal factors with regard to overall system performance,  
17 decide which ones we really need to work on and which ones we  
18 don't have to work as hard. We have to determine our current  
19 confidence and our understanding of what those mean. We have  
20 to understand how much do we know about this, how much don't  
21 we know, and where do we go from here.

22           Then we have to look at what's a potential  
23 confidence we have in the future. How much can we know?  
24 What can we reasonably expect to learn in the next year to  
25 two years, and make determinations on how to assign our

1 resources in that regard or look for different alternatives  
2 or engineered features.

3           And finally--well, not finally--determine the  
4 performance allocation for LA. Make a decision of how much  
5 harder are we going to work on this. And I have some  
6 examples that I'll walk through.

7           And then finally we need to determine the priority  
8 of the technical work for the LA, which turns out to not be  
9 too hard once you decide how you want to allocate your  
10 performance. And Jean Younker is going to talk about some  
11 examples of the work we do and why to tie into this.

12           Now, this is a chart that you saw at least part of  
13 from Bob Andrews. Let's see if I can make my pointer work  
14 again. It has your system attributes, the four of those. It  
15 comes to the principal factors again. And then the  
16 importance, as determined by Bob Andrews through his  
17 sensitivity studies and which was subjective to an extent, it  
18 smears it over a very long time frame. And we recognize that  
19 there are different strategies for the first 10,000 years,  
20 different strategies for the middle 10 to 100, and perhaps  
21 different strategies for greater than 100,000 years, all  
22 decisions that have to be made as to whether we want to treat  
23 each one separately or try and treat them as a group or limit  
24 the effect.

25           So to a certain extent these have been smeared, but

1 this gives you where you are and what the basic importance  
2 is. And what you find out is that your seepage from the  
3 drifts, the drift shield as an option, the integrity of your  
4 inner barrier and your ceramic waste package coating come up  
5 as highs.

6           Now, there's a confusion factor that I've  
7 introduced again to make the presentation go a little more  
8 quickly, so let me explain that.

9           The idea of the drip shield and the backfill and  
10 the ceramic coating, they are not part of the reference  
11 design. And so what you see here is the assessment of  
12 importance based upon the reference design, and you all see  
13 the assessment of importance based on sensitivity studies.  
14 This is not necessarily the importance were you to put both  
15 of these options into the system. And I have a chart that  
16 shows you that a little bit later. I'm getting some blank  
17 looks.

18           If you put in a drip shield and backfill, and you  
19 put in ceramics that dripping may, in fact--the dripping, the  
20 seepage that was talked about earlier may, in fact, not be as  
21 important because now I have two means of keeping it off the  
22 package, not to mention a robust package. So knowing that  
23 answer precisely may not be as important, and I may, in fact,  
24 change the importance throughout this column. And that's why  
25 I say you have to consider the entire design that you're

1 working with when you work on the system.

2           So I want to point out to you that the letters that  
3 are here are not for this as a system. These are here for  
4 the reference design, and we added those aspects for the two  
5 options. And clearly, one of the tasks we have, and I tried  
6 to make the point on the earlier chart when I showed the  
7 flow, is that we have to go back and identify what are the  
8 principal factors for designs based on different options,  
9 different alternatives and different features that we place  
10 in there. And we've done some of that work, but it's  
11 preliminary, and so I chose not to show it.

12           Yes, Dr. Cohon?

13           COHON: Cohon, Board. Is there any significance to the  
14 Super Big H on the seepage?

15           BAILEY: No, sir, it's a function of my visual acuity in  
16 proofing these charts.

17           COHON: Fine.

18           BAILEY: I'm sorry I can't give you a better answer, but  
19 when I proofed it, it looked the same size on the paper to  
20 me.

21           Now, here's the rest of the chart. We had some  
22 other pieces, and they're what I told you I was going to talk  
23 about. What is our current confidence? What do we know  
24 about the system? We have our potential confidence. What do  
25 we think we can know about the system, and then a decision on

1 how much credit or how much confidence or how much allocation  
2 do we want to provide to this system if we move forward to  
3 the license application? Can we learn something, and is  
4 learning something useful, or should there be another  
5 strategy to try and offset the uncertainties or the inability  
6 to learn that more precisely?

7           And then finally, pretty straightforwardly comes  
8 out the priority for future work.

9           I have a few examples here that I'm going to walk  
10 through. Seepage into the drifts, clearly important as Bob  
11 Andrews talked about this morning colloquially. The moisture  
12 that comes in through seepage contributes to humidity, which  
13 in the reference design affects the carbon steel outer  
14 barrier. The dripping falling on the package provides the  
15 liquid medium for the inner barrier, the C-22 barrier, to  
16 fail or to be corroded because of the presence of liquid  
17 water. And then finally, although the iodine and the  
18 technetium can move rather rapidly without flowing water, the  
19 neptunium in the longer time frames is carried by the seepage  
20 that you get into the drifts, a very important parameter.

21           What's our current confidence? Well, we have in  
22 situ measurements. We didn't have to guess. We have some  
23 numbers. We've used some theories for the models, the  
24 consider percolation flux and rock properties, which we  
25 believe have to do with it. So we have some data. We

1 believe we have a fairly bounding piece here, which Bob  
2 showed you this morning, and I can't recall the specific  
3 numbers.

4           But what it does is it says, we know probably about  
5 how much could come in through a seep, and we have a range on  
6 it from a medium value to a very large to a very small value.  
7 We probably can't tell you where it's going to seep and when  
8 it's going to seep, but we can probably tell you that it's  
9 going to seep and there's going to be water dripping. And  
10 for that, we can be fairly confident.

11           Now, Bob has used a series of probabilistic methods  
12 to estimate how that works. In a licensing arena, we may  
13 have to go all the way to the top, use the top value and have  
14 it hit every package or hit every package divided by how many  
15 packages there are that use 5 percent.

16           So we actually have pretty good confidence. We  
17 think we have it bounded, and we believe--we recognize what  
18 we don't know, and what we don't know is that we don't know  
19 where and we don't know how often. And in the projected  
20 confidence, we don't believe we can run tests that will ever  
21 tell us just exactly how much where or when. We probably can  
22 never get to that answer and know it for sure. We can bound  
23 it, but we can't ever know it.

24           And as such, we better only put a moderate  
25 importance on it for post closure performance. Even though

1 it has a high impact, we can bound it, but we probably can't  
2 get the exact answer. And if we depend on knowing how much,  
3 where and when, then we're going to be unsuccessful in this  
4 process. And if we're going to bound it, then we know enough  
5 to bound it. And the question is, do we design to  
6 accommodate it, and it would suggest right now, based on the  
7 charts that you've seen, that even the C-22 material does  
8 corrode in the face of this. So maybe we need some other  
9 design mechanism. I'm not committing to one, but the fact of  
10 the matter is, is that we'll never know how much, where and  
11 when, and so we have to take a bounding-type condition on  
12 that.

13           And so we look at this as let's see if we can put  
14 it back to a moderate understanding; in other words, we know  
15 enough, and see if we can either design away from that issue  
16 or design into that issue to deal with it. And as such, the  
17 work on this is a fairly low priority. Now, let me say here  
18 that a low priority doesn't mean that there isn't anything to  
19 be done. Clearly, there's work to be done; clearly. I mean,  
20 we have models, we have codes, we have data that we're  
21 gathering. We can sharpen it a bit and make sure that we  
22 really have it bounded so that we can defend it. So low  
23 doesn't mean we're closing the door and walking away from it.  
24 There's still work to be done.

25           But this would recommend, and that's what it is, a

1 recommendation, that we don't try and go the next step and  
2 try and figure out how much, where and when. But instead, we  
3 take a strategy that moves us into a different approach.

4           I believe the question was asked this morning about  
5 performance allocation, and that's what we're doing here.  
6 We're stating that we're going to live with what we have.  
7 We're going to clean it up, obviously, but we're not going to  
8 base our case on being able to know everything there is to  
9 know about this. We have to do a design and a system. We  
10 have to have a system. And when I say design, I'm talking  
11 about the entire system. I can't change the mountain, but I  
12 can take advantage of its finer attributes.

13           And so when we do our design and we choose the  
14 system, we choose not to try and place tremendous reliance on  
15 exact knowledge of this parameter.

16           Now, I took another one here, and this is an  
17 option, the water diversion by a drip shield and the  
18 backfill. And as I said, this is an interesting one because  
19 if you're trying to keep seepage off of a package and want to  
20 keep it in a diffusive regime, you want to keep it out of  
21 advective flow, you want to keep it in humidity, well, here's  
22 an answer that obviate the seepage into the drifts and make  
23 it so that what we do understand about it in a bounding  
24 condition and every place, that if we can demonstrate this  
25 works, a performance allocation of high, then this can take

1 away the uncertainties associated with the natural feature,  
2 which we probably can't develop fully.

3           So what do we know about it? Well, we have good  
4 information on the longevity of ceramics and tuff gravels.  
5 So you could have a ceramic drip shield, you could have a  
6 ceramic and a metallic drip shield. And I talk about C-22 in  
7 a minute; that's why it isn't on here. We know pretty much  
8 what happens there, whether it goes away or it doesn't, and  
9 we can work that.

10           We have limited information on flow through  
11 backfill, not something that's been studied heavily. And the  
12 feasibility of construction, how to actually install this  
13 backfill and place a drip shield either in contact with the  
14 package or suspended above the package. And the drip shield  
15 in this case is not necessarily just a thicker package. The  
16 idea here is to try and get a diffusive flow regime onto the  
17 package itself, although you could probably do that with a  
18 drip shield and some different types of barriers there; maybe  
19 throw sand over it or something. But the idea is we need to  
20 figure out how to construct one of these reliably so that we  
21 can test it and demonstrate that it's going to work.

22           We currently have a moderate current confidence.  
23 This is standard engineering type stuff. It just hasn't been  
24 looked at over the time frames that we're talking about, and  
25 we haven't looked at it in this particular setting.

1           Our potential confidence, well, we can do some  
2 testing on the flow and the backfill. I mean, it can't be  
3 hard to make a dummy and put it in there and make some  
4 backfill and drip water in various places and measure. We  
5 can do that. We can find out the theory of backfill flow,  
6 and we can even make a proof of principles as a prototype.  
7 We can make the dummy put the drip shield in, do the  
8 measurements.

9           So we can learn quite a bit about this. In a short  
10 term, we can learn quite a bit about it and how it's going to  
11 behave, and we believe we can have a fairly high projected  
12 confidence. That high confidence has to be weighed by our  
13 ability to deal with the materials involved, but we believe  
14 we can get to a high confidence to where we believe we  
15 understand how it works, and as such, we would give it a high  
16 importance to post closure performance. We can learn  
17 something about this particular feature.

18           Now, if we go to--which is the integrity of the  
19 inner barrier, we currently have a moderate confidence. We  
20 have some pretty good ideas. There's been some testing.  
21 We've met with the experts. It's been suggested that--  
22 another expert suggests maybe we're being a little bit too  
23 conservative. I'm sure someone else will be we're not  
24 conservative enough.

25           We have limited experience in testing of the C-22.

1 There's no doubt of that. It's a newly defined metal.  
2 There has been some very aggressive testing over which we are  
3 then trying to project very long periods. But we have had  
4 the experts who have given us some ranges, and with those  
5 ranges, it appears to be a very robust material. The experts  
6 believe that it will work very well in that time frame.

7           We've considered a large number of effects. We've  
8 looked at the dry conditions, the wet conditions, stress  
9 corrosion cracking, microbiological effects, radiation  
10 effects. We've looked at it fairly comprehensively, and we  
11 believe we probably have a moderate current confidence. We  
12 think we understand about how this works.

13           Now, we can do a lot of testing to improve our  
14 confidence. We can do some very focused and very localized  
15 testing and learn a lot more about the material and get a  
16 high projected confidence. And as such, we believe that we  
17 could have a high importance to the post closure performance.  
18 Again, we can learn a lot about it in a short period of  
19 time.

20           And it shouldn't be surprising, now that we  
21 understand the conditions of the mountain, that we're  
22 engineering inside of those conditions and can develop and do  
23 the test programs focused on what we believe we want to see,  
24 and that the most rapid gains and understanding are probably  
25 an engineered area because we can control the heterogeneity,

1 we can control the processes by which it goes in place, and  
2 we can run testing that now is bounded by what we believe is  
3 going to happen inside the mountain.

4           I will on this one take a half step back and point  
5 out that from my previous light, we certainly found new ways  
6 for metals to fail. Just because we tested it and tested it  
7 and tested it didn't mean that 20 years later it didn't find  
8 some mechanism that we just didn't find in the short term.  
9 There is no question of that, and we are alert to that fact.  
10 And once again, you go back to your defense-in-depth  
11 argument. How do you deal with your known unknowns; you can  
12 do that I think with margin. How do you deal with unknown  
13 unknowns; you deal with defense-in-depth to a certain extent.

14           And so having a super excellent material is  
15 probably not enough in the licensing sense, and it's probably  
16 not enough in the generic sense. It's probably not the right  
17 approach to have one silver bullet, I believe Mr. Barrett  
18 explained this morning, and one thing in there that you're  
19 absolutely dependent on. It's the same argument I used as to  
20 why we shouldn't chase seepage real hard. You can't have  
21 something that you absolutely depend on.

22           And I picked on here which isn't high importance,  
23 but it was a different one, and that's transport through and  
24 out of the waste package. And Bob Andrews went back through  
25 this pretty quick. And basically, well, we know how data

1 moves through granular and iron materials. I mean, we  
2 understand diffusion around those kinds of things. There's  
3 little data specifically on transport through these  
4 assemblies or the surface of the internal components inside  
5 this waste package. I mean, it is a very difficult situation  
6 to begin with, and then as it degrades, you have really odd  
7 conditions.

8           We have theoretical knowledge of the small opening  
9 transport, which is what we're interested in, and that is  
10 when you have your pinhole, how does it get in and how does  
11 it get out through the pinhole. And we feel fairly  
12 comfortable with that from a theoretical basis. But other  
13 than that, we have pretty much a low current confidence in  
14 exactly what's happening inside, and, in fact, we bound it on  
15 the upper end. Bob Andrews bounds it on the upper end.

16           Now, that gives us a low current confidence, and  
17 because of the fact that we're not even going to go look at  
18 the lower bound, we pretty much say we're not going to spend  
19 a lot of time studying this or trying to learn the  
20 preciseness of what happens. We just want to prove to  
21 ourselves and to the NRC that the values we use are, in fact,  
22 bounded.

23           And so we'll probably have a low confidence on  
24 understanding the entire mechanism that happens here when  
25 we're done, and it will have a low potential confidence and

1 probably have a low--we need to make it so it has a low  
2 importance to performance. If it, in fact, does have an  
3 importance piece to performance, then we're going to have to  
4 go back and work it some more.

5           But basically, we basically are going to make a  
6 rough assumption. It doesn't buy us a lot of time, and the  
7 likelihood of it actually limiting the dose and release for  
8 the actual transport mechanisms, it isn't the place that we  
9 should spend our resources to move forward.

10           This was provided as the whole chart. You saw  
11 those where I broke it down by attributes, and you'll notice  
12 that I talked about it in terms of attributes. And that's  
13 one of the things that we are, frankly, working through, is  
14 what is the right basis to look at these? Do you look at  
15 them independently, or do you look at them in terms of the  
16 attributes and what you're trying to accomplish. And that's  
17 why you see something like a drip shield in limiting water on  
18 a package because you're keeping the water away, keeping the  
19 diffusive regime as opposed to an extra robust package or  
20 ceramics because now you're trying to put something into  
21 containing the waste.

22           So we're trying to get an orderly thought process  
23 of what can we do in each one of the attributes to offset  
24 what we don't know about that particular attribute and  
25 consider what its interface is on its next point in the

1 transmission of the water, which is the big issue here.

2           So I've provided you with the whole chart so that  
3 you could have that for information. And if you want to just  
4 ask questions about that, I'll do my best during the question  
5 session.

6           I then went to an example performance allocation  
7 for the design options; I said I'd do that. And this is, as  
8 you'll notice, that we have the VA reference design, and  
9 again, I have a big H, and it looks like I'm missing a couple  
10 lines. So my proofing is--it's on my paper version, but not  
11 on this one. Interesting.

12           You'll see that I took out the drip shield and the  
13 backfill, and you can see how the reference design was  
14 actually graded by Bob Andrews with regard to importance of  
15 the principal factors.

16           I then moved over and said, well, let's go to the  
17 VA reference design and put on the drip shield and the  
18 backfill. And when you do that, you'll notice that, as I  
19 suggested, seepage into the drifts isn't quite as important  
20 because we can account for the seepage into the drift and the  
21 maximum number, the maximum amount, the locale, and take  
22 those particular parameters out of the calculation  
23 significantly, if we can place the dependents down here onto  
24 the drip shield and the backfill.

25           If you go and do it again for ceramics, you find

1 out that ceramics has about the same effect, and that is, is  
2 it takes the seeps and the transport again out of the mix.  
3 And if you put both of them in, and this is an example--get  
4 my disclaimer in, we have an example--but if you do that,  
5 what you'll find is that you have three fairly robust  
6 barriers, three fairly robust ones in terms of the drip  
7 shield and the backfill to keep water off of the package.  
8 You make an extremely robust package by means of ceramics,  
9 which has a different failure mechanism than the metals  
10 beneath it and perhaps has a different failure mechanism than  
11 the metals above it in the drip shield.

12           So by doing that, you may even be able to take the  
13 rest of the parameters out, and we may have more than enough  
14 knowledge, if you will, to be able to move forward with a  
15 design like that.

16           Now, I have to temper my answer because you have to  
17 look, and I guess you saw the charts with a million years  
18 with the ceramics, or 10,000 years or 100,000 years with the  
19 ceramics. We have to look at those numbers, and we have to  
20 spend the time to make sure those are with moderate  
21 confidence ceramics and moderate confidence C-22. We have to  
22 go back and really do the math.

23           But this is the approach that we're using to  
24 determine what's important and decide where we should really  
25 put our emphasis. Now, you can argue that we've placed three

1 silver bullets. Well, the three is a whole lot better than  
2 one, and if you can make them out of different materials with  
3 different failure mechanisms, then you have a pretty good  
4 argument. And if you don't, we can come back and add and  
5 look at additional features or go back and look and try and  
6 take better credit for some of the site features. I place  
7 greater reliance on those site features.

8           And I have one more chart. I see the questions  
9 getting ready. I have one more chart, and it's an example  
10 again, and the example principal factors for alternatives.  
11 This is not defining new principal factors for the  
12 alternatives. As I said, we've done some preliminary work on  
13 that. There might be as many as 25 or 27 parameters if you  
14 start looking at what the alternatives do for you. We're not  
15 prepared to discuss that at length, but this suggests that  
16 these are the areas where the other features or the  
17 alternatives that we're looking at may, in fact, be able to  
18 enter into a principal factor to provide a different or a  
19 greater reliance than we currently have.

20           And the easy one on top, surface modifications  
21 covering the mountain with alluvial or putting drainage up  
22 there so that we can move it in some manner so the  
23 percolation flux itself is lower is another way to control  
24 the water contact in the waste package just like a drip  
25 shield does. So there's other means by which we can do that.

1           Now, the decision process of this is performance,  
2 it's cost, it's feasibility, it's all of those kinds of  
3 things, and I think there's some decision theory work looking  
4 at how to make the best set of decisions. But this is the  
5 process that we're going through to try and make those  
6 choices, and our recommendation in the LA plan is going to  
7 include where we believe we should spend some work--spend our  
8 work and our resources to try and move forward.

9           Clearly, we have an action with regard to the  
10 alternatives and the features in the May time frame to move  
11 and make those decisions and build lots of those charts that  
12 I showed with regard to the features for every design. We,  
13 in fact, have built 17 of those to date using the design  
14 options, various design options and a few of the features to  
15 try and build what are the things that are most important to  
16 us. So it's a systematic approach to choosing our pieces.

17       COHON: Thank you, Mr. Bailey. Alberto Sagüés? Yes,  
18 sir.

19       SAGÜÉS: I'm surprised at the high rating that ceramic  
20 coatings for the waste package seems to be getting in needs  
21 for future investigation. That particular option, as far as  
22 I know, has been looked at quite unfavorably by the expert  
23 elicitation on waste package materials and also in other  
24 meetings by other bodies that have been looking at the area.

25           Can you, or would you be able to indicate maybe if

1 there is additional information or additional issues that  
2 help--that have taken this to such a prominence?

3         BAILEY: Well, yes, the waste package expert elicitation  
4 group is focused very heavily on the metals, and the metals  
5 have a failure mechanism. In keeping alive the spirit of  
6 defense-in-depth, diverse failure mechanisms, and having  
7 other options available to us, we need to look very hard at  
8 the ceramic alternative. It doesn't take a lot of money to  
9 find out if we can apply it, to find out what its failure  
10 mechanism is and to see if it really buys us the time and the  
11 isolation that we believe it does. We're going to give it a  
12 good thorough going over to see if, in fact, we can make it  
13 useful.

14             I understand that the expert elicitation has not  
15 been strong in support of it, but there are--there is belief  
16 that it could possibly be successful. There are applications  
17 in ceramics in many places where they've been good for wear.  
18 They are not susceptible to caustic environments, and the  
19 question is one of application and proof.

20             And like I said, it's a process which we can test  
21 fairly readily without a great deal of expense. So we're  
22 going to move forward and take a look at it. Or, it may not  
23 pan out, but it's something that we want--remember what I'm  
24 doing in the license application plan, I'm trying to identify  
25 what is the future work, what do I need to look at to make

1 sure I can move forward. And right now we haven't taken  
2 ceramics off the table.

3 SAGÜÉS: The biggest problem is not just ceramics, but  
4 it is ceramics in intimate contact with metals. And so there  
5 is a marriage there of the two materials which creates a lot  
6 of compatibility problems. And from that standpoint is that  
7 the experts usually were quite frankly against that concept.

8 BAILEY: I understand, and we have to go back and prove  
9 that to ourselves.

10 COHON: Paul Craig.

11 CRAIG: Craig, Board. I'd like to explore what seemed  
12 to be an interesting consequence of what you told us. On  
13 Page 15 and 16, you bring your priorities. Don't bring it  
14 up, I'll just say what it was. That's where you summarized  
15 everything. And I looked through them, and all of the high  
16 priority items are engineered elements. It looks like  
17 there's four or five of them.

18 Now, in Albuquerque and partially here, too, it  
19 became clear that particularly under the pluvial and super  
20 pluvial conditions, the transport times through the saturated  
21 layer were of the order of a few thousand years, first  
22 arrival, and the unsaturated zone now seems to have transport  
23 times of a few thousand years also, according to the model  
24 that we've worked out today. And what that seems to say to  
25 me is that the entire protection of the mountain now lies in

1 the engineered barrier system, and in recognition of that,  
2 that's where you're going to put all of your effort.

3           So my question is, if you're now going to rely  
4 completely, essentially completely on the engineered barrier  
5 for protection, all protection beyond the period of a few  
6 thousand years, what difference does it make whether it's at  
7 Yucca? Why can't it be anywhere?

8           BAILEY: I don't believe--I would disagree with you that  
9 the entire protection of the waste is based upon the  
10 engineered system. A great deal of the waste is not mobile  
11 in the mountain, even if the packages are breached. The  
12 amount of water won't carry it forward. So a good deal of it  
13 is, in fact, held up by the mountain itself.

14           Second, the mountain provides us with the limited  
15 environment and the limited water flow and a predicable  
16 environment that appears to be stable for very long periods.  
17 It's an excellent location in which to optimize the entire  
18 system design using the engineering. It's not a belief that  
19 the mountain does nothing for us. We believe we have  
20 characterized the mountain to an extent where we understand  
21 how the mountain looks, and a great deal of time trying to  
22 narrow the uncertainties is probably not necessary when it's  
23 looked at as a system response in conjunction with the  
24 engineering. So it is, in fact, the entire system that's of  
25 interest.

1           Our focus right now, as I tried to say earlier, is  
2 that now that we clearly understand we believe what the  
3 mountain looks like and have it within bounds, now we can  
4 expand some real effort on the engineering to take advantage  
5 of the mountain's environment.

6           COHON: Dick Parizek.

7           PARIZEK: Yeah, Parizek, Board. In terms of drip  
8 shields, assuming it's not a ceramic coating, but a separate  
9 item that's somehow suspended in backfill, it has to be  
10 material that's as good or better than the waste package in  
11 order to last long and give you protection. So what sort of  
12 material would you make it out of, ceramic by itself? And  
13 how does one test something like that in a short time period  
14 that remains to make sure that it has its own performance  
15 that's going to act as a shield?

16          BAILEY: Yes, the way that Bob Andrews did it, as he  
17 explained this morning, is he used C-22 again. He used the  
18 same material that we're using in the waste package because  
19 we believe we have an understanding of how the material  
20 corrodes. And you might use a ceramic with it, you might not  
21 use a ceramic with it. You might use a titanium type  
22 material. And what you do is you can either suspend it or  
23 you can attach it, depending on--you know, there's  
24 engineering ways to accomplish that to try and avoid the  
25 interaction between the packages.

1           And again, you're into the test program that says  
2 how do I make sure that this lasts long enough? You've hit  
3 exactly on what the question is, and if you can do--I believe  
4 Dr. Bullen this morning said you make the waste package  
5 bigger. Well, that accomplishes it as well as far as  
6 providing the robustness of the design. If you can separate  
7 it into a different design, then you have the ability to try  
8 and get that entire diffusive regime below the package as  
9 opposed to expose the package to everything that drips. And  
10 that was the intent.

11           And again, you have to have a long life--you have  
12 to have a long life. It has to go through the same kind of a  
13 test program that the package does. It would be desirable to  
14 make the dependent portion of that material different than  
15 C-22, since you're not subject to the unknown failure that  
16 we're likely to see.

17           PARIZEK: So the listing is really a working  
18 recommendation of high, medium and low at this time until you  
19 really go on through those tests. Then you could say in the  
20 final analysis high is high, and you feel better about it?

21           BAILEY: That's right. Again, this list is to identify  
22 how do we think we would allocate it at this point in time  
23 based on what we know and what we believe we can learn and  
24 try and make that allocation to focus the work that we have  
25 to do for the future. If that work doesn't pan out, then we

1 have to go back and use something else.

2           And remember that I'm doing this for the reference  
3 design alone. I haven't factored into this the different  
4 alternatives and the different features, but could very  
5 easily change what it is that we have to go work on. But  
6 because we're doing the VA and we're trying to identify where  
7 we go from the VA, then we've chosen these are the places  
8 that we believe that we need to go, and that they are  
9 compatible and consistent with just about any design that we  
10 might move forward with. And the alternatives and additional  
11 features work that we do will identify new work that we have  
12 to do in order to make this allocation work.

13       COHON: Jeff Wong?

14       WONG: Unlike Dan Bullen's questions, which his single  
15 question probably represents a convolution of a thousand  
16 other questions, my questions are simple.

17       BULLEN: Thanks, Jeff.

18       WONG: Any time, buddy.

19           I'm trying to understand--I listened to Bob  
20 Andrews' presentation, and I looked at yours, and I'm looking  
21 at these H and the Ms and the Ls. And as I listened to Bob  
22 Andrews, he talks about significance of uncertainty on post  
23 closure performance. And maybe I understand uncertainty from  
24 his point of view being that the value is, or the parameter  
25 value is unknown, and, therefore, the potential range of that

1 value is large, therefore, having a potentially large effect  
2 on the end calculated value.

3           And then I listened some more, and then I think I'm  
4 hearing a discussion of sensitivity, meaning that a small  
5 change in a parameter value leads to a large change in the  
6 end result.

7           And then I look at your charts and I see potential  
8 importance, then moving on to confidence and then performance  
9 allocation. And so I don't exactly understand how to move  
10 from Bob Andrews' explanations to your use of those terms H,  
11 M and L.

12           And the other part that is confusing to me is that  
13 just from I'm not a hydrologist, I look at the part on  
14 limited water contacting the waste packages, and you end up  
15 with Ls all the way down in terms of the priority, and yet  
16 the DOE has a big effort going on at Busted Butte to deal  
17 with infiltration.

18           And so I'm trying to understand the H and the M and  
19 the Ls, how do these transition, and then ultimately, what do  
20 you do with that value when you make that priority, and then  
21 how is that translated into actual work?

22       BAILEY: Okay. Well, there are a couple of questions, I  
23 think. Bob did talk about his uncertainties, which is  
24 important because it tells us what we don't know. What we  
25 were interested in learning is what's really important,

1 whether it has the large uncertainty or not. The original  
2 approach to this was, in fact, let's run from either end of  
3 the probability distribution function 5 percent to 95 percent  
4 and say, how much does it change? How much of an impact does  
5 it have? Does it cause less than 10? Does it cause a factor  
6 of 10? Does it cause a factor of 100 change? How important  
7 is it?

8           And that was how we tried to put this chart  
9 together, but then we took into account some of the pieces of  
10 smushing three distinct time frames into place, three  
11 distinct different types of transport that we had to put into  
12 place, and we lost a little bit of that I think. But we  
13 tried to stick with it as what it is that ultimately is  
14 important to us, and I think Bob will nod his head that these  
15 are the things that are important when you look. These are  
16 the things, and this is their relative importance.

17           I mean, H, M and L was chosen as a gradation. We  
18 all understand high, medium and low, and I mean, is medium  
19 here, is it here, is it here? I can't possibly get into  
20 that. It's trying to get a gradation that says what really  
21 sticks out, what's in about the same ball park and what does  
22 it matter? And you'll notice there's no lows on the list.  
23 There used to be some lows when we originally started this  
24 and started changing the list.

25           With regard to the work in limited water, I may

1 have to have some help there with regard to the program. As  
2 I said, there clearly is work that has to be done to close  
3 these items out. And trying to run the program to come up  
4 with a new conceptual model and a completely new approach to  
5 what we're doing, that for the most part isn't our approach  
6 at this point in time based on this chart.

7           Now, the chart is relatively new, and this is  
8 what's going to guide our program for the next year. And  
9 when we resolve that, if this is the agreement, then I guess  
10 some of the testing program has to come under further  
11 scrutiny.

12       COHON: Dan, can I insert myself, here?

13       BULLEN: Be my guest, Jerry.

14       COHON: Okay, thanks. Cohon, Board. My questions deal  
15 with the same matter that Jeff's does. Could you put up  
16 Number 11?

17       BAILEY: Which chart is it?

18       COHON: It's the seepage in the drifts highlight.

19       BAILEY: Okay.

20       COHON: First let me make the observation about looking  
21 at the large table, one notices that one of the major drivers  
22 in what the rating is in the last column, the fifth column,  
23 is the difference between Columns 2 and 4, and that's quite  
24 appropriate. That is, if we can't know much more than we  
25 know now, then why invest a lot in it?

1 BAILEY: That's correct.

2 COHON: And I think the way you're proceeding here makes  
3 a lot of sense, and I find this very helpful. What I'm stuck  
4 on is the middle column. And I asked the question when Russ  
5 Dyer first used the term this morning, and I have to say this  
6 didn't help me any. I'm still confused.

7 BAILEY: Let me--

8 COHON: I choose this example because it illustrates  
9 very well the problem I'm having with the concept. It's  
10 actually just a clue to my problem because I'm having trouble  
11 articulating my problem.

12 Follow me here. If you look at the first column,  
13 and I have to tell you, I need a magnifying glass to read  
14 this, but potential importance to post closure performance,  
15 right?

16 BAILEY: Yes.

17 COHON: You write that in H?

18 BAILEY: Yes.

19 COHON: And that's largely on the basis of TSPA?

20 BAILEY: That's based on the TSPA and the big impact it  
21 has in a variety of ways.

22 COHON: Right. Now, the third column, you give it an M?

23 BAILEY: Yes.

24 COHON: And the reason you give--the only reason you  
25 cite for giving it an M in your chart is moderate importance

1 to post closure performance, but you just got done saying it  
2 has high importance to post closure performance.

3 BAILEY: Yes, sir.

4 COHON: All right. So help me here. If you can explain  
5 that apparent inconsistency, I might understand performance  
6 allocation.

7 BAILEY: The performance allocation is a choice we make,  
8 and the choice was that we didn't want to have a high  
9 reliance on that.

10 COHON: So you're going to--you're going to try to,  
11 through the use of design alternatives, reduce its importance  
12 to--

13 BAILEY: That's correct.

14 COHON: --performance allocation.

15 BAILEY: We're going to choose whether or not it is the  
16 bumper, the dual redundant break system, the seatbelt or the  
17 air bag that's going to protect us from being hurt when we  
18 walked into something in an automobile. We're going to  
19 choose which one of those we want to use and try and focus on  
20 in terms of knowledge, certainty, argument to the NRC, and  
21 not play something like that into the forefront as this is  
22 the only way that we can get to the answer. If we have to  
23 know how much, where and when seepage occurs precisely, this  
24 can't be done. So we have to take it out of being knowing  
25 all of those things and move it back.

1 COHON: I'm not done on this, but Alberto is--do you  
2 want to talk to this particular point?

3 SAGÜÉS: Yeah, on this particular point. I think--well,  
4 you're choosing things, whether you're using the bumper, but  
5 you're choosing whether you're going to collide with a SUV or  
6 with a VW car, right? I mean, because that's not a  
7 protection item. The seepage in the drift is an aggressive  
8 item.

9 BAILEY: It's actually prevention. I've mixed  
10 mitigation with prevention, you're correct. There is  
11 prevention type issues, which is what this is, and there is  
12 mitigation type efforts where you're trying to catch what  
13 happens. But the concept is the same, and that is, is we're  
14 making the choice because we have another choice. We can put  
15 alluvium on top of the mountain and plant trees. Just  
16 demonstrate that it will be there for 10,000 years. We're  
17 trying to make those choices, and if we have several things  
18 that do that, then I don't have to play this greater  
19 reliance, and I don't have to understand as completely each  
20 one of them, and that's where we're trying to take this  
21 allocation.

22 COHON: Right. Just in the name of my understanding  
23 your methodology, the factors then that then go into the  
24 determination in the last column, the fifth column--

25 BAILEY: Yes.

1 THE COURT: --are Columns 2, 3 and 4 and basically not  
2 1.

3 BAILEY: That's correct. That's correct.

4 COHON: And what drives it is the difference between 2  
5 and 4 and then conditioned by what you've chosen in Number 3?

6 BAILEY: By the choice that we've made, that's correct.  
7 The first column, and let me--

8 COHON: I've got it. I've got it.

9 BAILEY: --explain. I'll say it back to you. The first  
10 column tells us what we should be looking at and how  
11 important it potentially is to the analysis at hand, what we  
12 know about it right now. The fourth column says how well do  
13 I know it right now, and the other says how much more can I  
14 learn about it in the two years or so before the license  
15 application. And then I say how much do I want to depend on  
16 this? How precisely do I have to know it?

17 You know, it's the old question of when I drop  
18 this, is it going to hit the floor? The answer to that is  
19 pretty much yes. But if I ask how, if I have to know how,  
20 I've got real problems. If I have to, then I have a lot of  
21 math to do and a lot of studying to do to get to that answer.

22 So if I can take it back to hitting the floor is  
23 what I need to know, then because I can use different aspects  
24 of the system, be they engineer or natural, if I can use  
25 those aspects, then I can reduce the preciseness of the

1 calculation.

2 COHON: Okay.

3 BAILEY: And I want to do that.

4 COHON: Okay.

5 BAILEY: And then the final column, just to close, the  
6 final column says in order to go from here to there, how much  
7 energy do I have to spend?

8 COHON: Dan Bullen.

9 BULLEN: Bullen, Board. Just another follow-up on that  
10 one.

11 As you take a look at the performance allocation--  
12 and actually I want to compliment you on putting these tables  
13 together because it helps with the logical train of thought  
14 of prioritizing thing.

15 BAILEY: Thank you.

16 BULLEN: But the concern that I have is that as you do--  
17 and let me see if I get the words right. This is potential  
18 importance to post closure performance. That means you've  
19 taken a look at some kind of evaluation using TSPA.

20 And as we saw this morning, and this is the concern  
21 that I have, if you have some aspect of that that may be  
22 masking the other performance, you have to make sure that  
23 you're doing a valid evaluation. For example, your  
24 performance allocation for transport through and out of the  
25 waste package has very low--I guess medium potential impact,

1 but that's only because the cladding is so good, that only at  
2 most 3 percent of it are ever going to see any waste. And so  
3 if you had no cladding and did the same type of analysis, you  
4 may not end up with an M there, you may end up with an H, and  
5 then we'd really have to understand how the water gets in and  
6 gets out.

7           And so I guess the caution that I have for you is  
8 that even as you try to do the bounding calculations, you may  
9 not have gotten outside the complete bounds. And I know you  
10 want to set a bound and ignore it, but be cautious that you  
11 may ignore something that will jump up and bite you later.

12       BAILEY: I understand your concern, and we have to be  
13 very alert to that, I agree.

14       COHON: Debra Knopman.

15       KNOPMAN: Knopman, Board. I, too, want to thank you for  
16 putting these tables together because they're helpful, and  
17 they show us how you are thinking about things.

18           But I want to go back to this Column 3 again, the  
19 performance allocation because in some ways this is now, it  
20 seems to me, an expression of what you all mean by defense-  
21 in-depth, that you don't want to rely on any one feature in  
22 sort of a disproportionate way, and if something is--if a  
23 particular feature happens to be difficult to characterize in  
24 great detail, you want to find a way to get that out of your  
25 critical path in a sense.

1           The question, however, is that it seems to me if  
2 that's your philosophy with the performance allocation, then  
3 you'd kind of want Ms or Ls all down that line. You don't  
4 want anything with an H?

5           BAILEY: Yes.

6           KNOPMAN: But you have three things with an H.

7           BAILEY: That's correct.

8           KNOPMAN: And that's the drip shield and backfill and  
9 the ceramic waste package and the integrity of the inner  
10 corrosion resistant materials. So now you've got this  
11 weighting toward the materials evaluation, and not just  
12 materials, but sort of our ability to engineer them in a way  
13 and apply them in a way that will have a high degree of  
14 reliability.

15           So you've made a tradeoff. I just want to make it  
16 very explicit that you've made the tradeoff here. And I'm  
17 not saying it's right or wrong, I just want to highlight it,  
18 that you're now placing a great deal of importance on being  
19 able to prove that you've got--you're going to get  
20 performance out of the ceramic waste package coating or the  
21 drip shield and backfill. You've introduced a new set of  
22 unknowns because these are currently items for which there is  
23 not a lot of information, at least that I'm aware of, and  
24 trying then to fill in, leaving some other things possibly  
25 behind.

1           But, I mean and this is the point here, if you're  
2 really going to do a serious look at design alternatives--

3           BAILEY: Yes.

4           KNOPMAN: --then you may not want to be going down this  
5 path here.

6           So that seems to me to suggest that you've got to  
7 really get a move on your design alternative evaluation to  
8 focus your work in this time between now and a site  
9 recommendation.

10          BAILEY: I agree with you on your second statement. I  
11 want to go back to the first. If you go back to the example  
12 performance allocations, we could potentially allocate a lot  
13 of mediums into that last column instead of a lot of lows.

14          There was a question earlier today on the  
15 quantitative nature of how we do this. This has not been  
16 quantitized at this point in time. We frankly didn't have  
17 all the data that we needed at the time to go do that. We  
18 found ourselves subject to a great deal of expert judgment to  
19 do that, and so rather than try and quantify expert judgment  
20 into numbers, we quantified this as subjective evaluations at  
21 this time.

22          We could conceivably go back and work these and use  
23 a lot of Ms and have no Hs, and I agree with your assessment.  
24 If we can have all Ms and Ls so that we are not dependent  
25 significantly on knowing everything there is to know about

1 something, or come back to my argument on material and  
2 metals, then that's highly desirable. But if I can have  
3 three materials that all fail in different manners, at  
4 different times for different reasons, then when you put  
5 those together, I'll have a high likelihood of success, which  
6 is the approach we're trying to take right here.

7           But it could be, exactly as you say, a different  
8 allocation. These are examples. We have all the  
9 alternatives to do, and we have to come up with that final  
10 strategy. Here we were trying to decide what work do we have  
11 to do for the coming year, and to us, it only--it makes sense  
12 in these recommendations, draft yet, but it makes sense to go  
13 look at some of these engineered features to see if we can  
14 make some rapid progress that we can apply to this.

15       COHON: Just, by the way, just as a note on the internal  
16 consistency of the methodology they've used, if you identify  
17 drip shield as the way you take some natural feature and  
18 reduce it to an M from an H, then that drip shield better  
19 remain an H in your performance allocation.

20       PARIZEK: And it better work.

21       COHON: And that's what the H says. I mean, we're  
22 pinning a lot on--

23       BAILEY: That's correct. That's what we have to defend.

24       COHON: Priscilla Nelson.

25       BAILEY: Yes, Priscilla?

1           NELSON: Well, I'd just like to request that generally  
2 that--at some point you used the term smushing for the time  
3 intervals.

4           BAILEY: Yes.

5           NELSON: And the question about the time, I could see  
6 some of these things being more important in certain time  
7 intervals than in others--

8           BAILEY: Yes.

9           NELSON: --and that some of them may be high importance  
10 if your focus is on the first 10,000 years and low importance  
11 in longer term. And I guess for me to feel like I understand  
12 what you're communicating, that sense is important to see on  
13 these drawings, on these tables because that's sort of my  
14 dipstick on whether I understand what you think the issues  
15 are. So I encourage you to work through this.

16          BAILEY: Unsmushed, yes.

17          NELSON: We could make it unsmushed and as a consistent  
18 kind of a definition and a presentation to that made by TSPA,  
19 by Bob Andrews, so we don't get ourselves confused like this.

20          BAILEY: Well, yes, I agree with you that the  
21 preciseness is desirable. In trying to decide what work we  
22 have to go do for the future, we tried to look at the three  
23 time frames together, which is why seepage is interesting in  
24 how your fail the package, and it's interesting in the very  
25 long term for transporting neptunium, but perhaps not--and so

1 we left it at high for the whole sets of periods. But I  
2 agree with you. I agree with you.

3 COHON: Notice how responsive the Board is to the  
4 metaphors that you use. Priscilla just referred to the  
5 dipstick.

6 I have one last question for you.

7 BAILEY: Yes.

8 COHON: Your slide Number 5, which is the performance  
9 allocation process, the box with flow--

10 BAILEY: Yes.

11 COHON: I'm not sure it's fully intended, but perhaps it  
12 is. But this says basically, we know what we know about the  
13 natural system, and we're not going to try to find out too  
14 much more because you've got the two boxes on the right,  
15 which deal with design alternatives. There should be another  
16 set of boxes on the left, sort of a parallel path, which is  
17 further exploration understanding of the natural system.

18 Now, the words you use in describing this didn't  
19 jive with the picture; that is, you said things like, we've  
20 got to treat this as a system and understand it's a system,  
21 and the natural system is a major part of that overall  
22 system.

23 BAILEY: Yes.

24 COHON: Yet there's no provision here in this diagram  
25 for further study of the natural system. Where is it?

1           BAILEY: It's in the principal factors. It's in the  
2 original. That was my intent. I understand your comment of  
3 slighting the natural system. The intent was, is that as you  
4 work through--

5           COHON: No, no, wait a minute.

6           BAILEY: --here, that's where it would--

7           COHON: No, that doesn't work.

8           BAILEY: It's implicit, in my mind.

9           COHON: Well, it's very implicit.

10          BAILEY: In my mind.

11          COHON: No, the principal factors--

12          BAILEY: I understand.

13          COHON: No, okay. Well, you understand, but I'm not  
14 satisfied with the response because the design alternatives,  
15 those two boxes on the right, represent actions you're going  
16 to take.

17          BAILEY: Yes.

18          COHON: The principal factors do not--

19          BAILEY: Are actions being taken, yes.

20          COHON: They're actions you're going to take?

21          BAILEY: Our actions we've taken.

22          COHON: You've taken, right.

23          BAILEY: Yes.

24          COHON: So that's why the missing boxes on the left are  
25 important.

1 Paul Craig.

2 CRAIG: Craig, Board. Yeah, I want to jump in here,  
3 too, because this is exactly the point I was trying to raise  
4 at the conclusion. You're proposing to do practically  
5 nothing about the transportation through the water. All  
6 your effort, all your important effort is on the engineered  
7 barrier, which means you don't expect any improvement in the  
8 transportation through the water in the natural system. And  
9 since we now know from your previous briefings that the  
10 natural system does not provide much in the way of delay,  
11 that means that the successful working of the system relies  
12 almost entirely on engineered barriers. And that's quite a  
13 new result, a very important result it seems to me, and it  
14 needs to be noted. Maybe there's nothing that can be done  
15 about it, but at least it needs to be noted.

16 BAILEY: There's still work going on in the natural  
17 system. As I said--doesn't mean nothing has happened. But  
18 it is a system response, and there's clearly a reliance being  
19 placed on the engineering. I agree with you.

20 COHON: Well, thank you very much; very helpful.

21 Paul, in the future, bring the mike up to your  
22 mouth. They're having trouble picking you up.

23 Sorry to run on so long, but that was a very  
24 important presentation, and we appreciate all the good  
25 information you gave us.

1           Jean Younker is now going to speak about work  
2 remaining to complete the site recommendation and license  
3 application.

4           YOUNKER: While he's setting me up here, let me mention  
5 to Dr. Craig, we do have--if you notice at the end of mine as  
6 I walk through the allocations, we have moderate performance  
7 on both UZ and SZ transport. So you'll see that, in fact--I  
8 mean, the moderate means that you're going to make sure that  
9 you've got the right work going in order to get what  
10 additional information you can.

11           So I don't think that it's quite as extreme a view  
12 as what you were portraying, just to say what I'm going to  
13 say again after I get set up here.

14           CRAIG: Well, I was trying to provoke a response.

15           YOUNKER: Got one.

16           COHON: But, Jean, I'll give you another response.

17           YOUNKER: Okay.

18           COHON: That slide that I flagged, Number 5, without the  
19 boxes on the left, I mean that leaves nothing open to  
20 interpretation. That says we're emphasizing greatly on  
21 design, and I mean, taken totally by itself, it would say  
22 we're going to do nothing in the natural system. Now, we  
23 know that's not the case, but there's something in blue and  
24 white that is hard to get around.

25           YOUNKER: The one that I like to think about is that--

1 and I'll say this again, too, at the end of my talk, but the  
2 environmental conditions that we have to design a waste  
3 package and a repository system to sit in are pretty well  
4 understood. Now, I mean, we're starting to close on it.  
5 There are still some uncertainties for sure, and we think we  
6 have a pretty good handle on where the important ones are.  
7 And so it's now time to start focusing in on that design, and  
8 I think that's more the way I'm looking at it than it is  
9 quite as extreme that the whole reliance is shifting to the  
10 engineered system. It's simply time to begin to really spend  
11 your money and your effort to get the right engineered system  
12 for these conditions.

13           Well, given what you've heard from Jack, and I  
14 think that was exactly the discussion that we were hoping to  
15 have with you about the method because I think the method is  
16 one that we have in the Viability Assessment, Volume 4. The  
17 M&O has spent an awful lot of time putting it together with  
18 as good explanation as we can get for the columns, for the  
19 entries in the columns.

20           As Jack said, we would have liked it to be a little  
21 more quantitative and a little bit more basis for each entry  
22 in the column, but at this point in time, given that we've  
23 only evaluated the options--you know, we have the base case  
24 evaluation. Everything that goes into that in terms of the  
25 process models for the natural barriers, natural system

1 components and the engineered system, together with the  
2 options that we've looked at in terms of drip shield,  
3 backfill and ceramic coating, you know, we can take a look  
4 right now, get the best case we can for prioritizing the  
5 future work coming up next year and then our multi-year plan.

6           Clearly though, as many of you have pointed out,  
7 depending on how these alternative concepts and the features  
8 that cut across the concepts are put into our reference  
9 design as we head out into the next year to two years, some  
10 of these allocations are going to have to be looked at.  
11 We'll have to update them and make sure that we're not  
12 closing out some work that has some reasonable chance of  
13 needing to be, you know, put back into the system in terms of  
14 an allocation to that component.

15           So that's, I think, the balancing act we're  
16 playing. We clearly can't keep on doing work on everything.  
17 We have a constrained budget. We have to get the best  
18 program to find that we can for the Department. And so, you  
19 know, our job, I think, between Jack's department, between  
20 Dan Wilkins and Colin Heath, the M&O is going to go to DOE  
21 with our best set of recommendations.

22           Now, what I'm presenting in no way is locked in.  
23 You know, what you see right now is in a draft that's going  
24 into DOE review for concurrence. What finally comes out in  
25 September very likely will have some substantial changes.

1           So this is work in progress. It should be viewed  
2 that way, and I think it's a good time for you to see it to  
3 have some input into how well we can explain it, as well as  
4 seeing the directions that we're heading.

5           Well, everything is organized in my talk as well  
6 around the attributes of the repository safety strategy, and  
7 Jack tried to explain to you how we stepped from the original  
8 set of hypothesis now into these principal factors that give  
9 us a way of really talking about the components of the system  
10 as reflected through the performance assessment.

11           And the table again--what I'm going to focus on  
12 completely is how to use the pointer. There is a little  
13 pointer here, and I'm going to bring him down. I haven't  
14 used this before, excuse me, but that should look interesting  
15 in the minutes, whatever that noise was--the priority for the  
16 technical work.

17           And the way I'm going to talk is taking what we've  
18 just told you as being the full sensitivity results coming  
19 out of PA together, including the reference design and the  
20 options. I'm going to make the assumption that that is the  
21 way we should drive our program. That is what is in the text  
22 right now, and I'm going to walk you through the kind of  
23 priority we'll place on the technical work and then just give  
24 you kind of an amino synopsis of where we think we would be  
25 at the time of SR/LA if this is the direction we go.

1           So it's just kind of walk this method now to  
2 completion with the scenario that we've laid out for you, not  
3 in any way, you know, saying where we will finally go, given  
4 that we will consider the broader side of alternatives.

5           So if I do that, if I take the first attribute,  
6 which is the limited water contacting the waste package--and  
7 if I find my arrow again, there he is. If we take the high--  
8 I may have to give up on this. I'll be too slow. If we take  
9 the water diversion by drip shield, which is our high--I will  
10 come back to the moderate, but I was doing our high first--  
11 Jack has already basically summarized while he was speaking  
12 what the information needs are. We'd have to get at the flow  
13 properties of backfill, since any time we talk about water  
14 diversion by a drip shield, we assume that we would protect  
15 that drip shield with backfill.

16           The feasibility of the design and emplacement of  
17 that, of course, is a concern. And so in terms of an  
18 information need, that would be something that we would focus  
19 some immediate work on to see what kind of information we can  
20 obtain in the relatively short time frame, and likewise, the  
21 longevity of that system. How long we'll be able to rely on  
22 it being in place in the way that we put it in there is, of  
23 course, a question that we're going to have to answer in the  
24 licensing arena and to ourselves before we allocate--take  
25 this allocation of performance into our licensing basis.

1           For tests and analyses that are currently on the  
2 table being looked at as a part of potential FY-99, fiscal  
3 year '99 planning, as well as longer term for many of these  
4 tests, obviously getting at the backfill and drip shield flow  
5 properties, making sure that we determine and ask what kind  
6 of material would you use for the drip shield, well, if we  
7 continue with C-22 as our primary corrosion resistant  
8 material, then much of the work going out on that C-22 to  
9 some extent translates to the drip shield behavior and long  
10 term corrosion performance.

11           If we look at other materials, like ceramic, we may  
12 also be looking at that as a coating anyway, so that  
13 information should translate.

14           So we have some potential for some feedback among  
15 the various studies. Feasibility studies, getting at design  
16 and emplacement are going to be very important, and we do  
17 have some--a proposal at least on the table to begin very  
18 soon looking at an actual prototype where we can begin to get  
19 immediate feedback on whether the kinds of concepts we have  
20 will work.

21           One of the concerns that comes in from the PA side  
22 of the house, and, of course, you would recognize if you put  
23 a drip shield in, does it act as a little cap that causes  
24 condensation and you drip water right back onto your package?  
25 Well, that's something that has to be looked at. What can

1 you do to avoid that? There's certainly engineering  
2 solutions we think that will allow you to design a drip  
3 shield that doesn't cause condensation and immediate dripping  
4 back onto the package.

5           And then, of course, in this area, getting out and  
6 making sure we cover the natural and manmade analogs that are  
7 available to bring in information. This is one I think the  
8 Board has told us we should pay attention to, and certainly  
9 the TSPA Peer Review Panel has made a real point that there  
10 are some natural analogs that we should be looking at.

11           Okay. Let me go up to the moderate now, and this  
12 one is the effects of heat and excavation on flow. In this  
13 case, the information needs, moisture redistribution during  
14 the thermal pulse, the effect of that redistribution on flow,  
15 meaning if we close fractures, open fractures, cause  
16 precipitation and dissolution and re-precipitation so that we  
17 change the permeability and the fracture characteristics in  
18 the near field and that alternation through mineral  
19 deposition.

20           Question on this, I think in general TSPA Peer  
21 Review Panel, for example, has commented that this is an area  
22 that we haven't looked at enough to satisfy them. On the  
23 other hand, I think our general view right now is that we  
24 have to look at it, and we will look at it to some extent,  
25 but our overall intuition is pretty strong that this area is

1 --that the changes will not be significant. The major reason  
2 for that is because we're in such a fractured system anyway,  
3 that any amount of change that you produce probably isn't  
4 going to fundamentally change flow properties in the near  
5 field, giving you the bottom line here rather than waiting  
6 for the last slide.

7           But the kinds of tests and analyses that we'll get  
8 at some improvement in this area, of course, from our in situ  
9 drift scale heater tests and the natural analog studies  
10 should be helpful here as well from the standpoint of looking  
11 at geothermal systems, is at least one place that we've  
12 looked. Modeling and testing mineral alteration, that's work  
13 that's been ongoing for a long time. Some very focused work  
14 can be done we think. And finally, then, updating our draft  
15 scale flow models. This is one area that I think from a  
16 performance assessment perspective we know we need to put  
17 some attention to.

18           If we move down to the long waste package lifetime,  
19 the high here, which we've spent some time talking about, is  
20 the performance of the integrity of the inner corrosion-  
21 resistant waste package barrier. And this is an area where  
22 those of you who follow this closely know that we've had a  
23 lot of input from our expert panels, as well as from our  
24 Total System Performance Assessment Panel. The corrosion  
25 rates in crevices, the thickness of the oxide layer and what

1 happens to it through time, what kind of phase transitions we  
2 get near grain boundaries are just key information needs.  
3 And I think we now believe we have a program set up that in a  
4 relatively short time frame with some fairly aggressive  
5 testing we can get at some of these information needs,  
6 looking at phase stability, as well as some models for  
7 localized corrosion and phase stability.

8           I'll come back to each one of these with a snapshot  
9 of where we think we'll be, given that we know these  
10 information needs are the key focus, or should be the key  
11 focus of our work, and that we have some tests and analyses  
12 planned into the '99 plan to go after this, '99 and out year  
13 plan.

14           All right. For the ceramic waste package coating,  
15 this is our other high, and this--I lost my arrow again.  
16 This is our other high, and from the standpoint of  
17 information needs for this, I will go through very quickly  
18 because I think in conversation, Jack in discussion has  
19 reviewed most of these: The longevity of the coating,  
20 stability against phase transitions, long-term continuity of  
21 the coating. I think that Dr. Sagüés mentioned that this is  
22 an area where there has been a lot of critical comment about  
23 whether or not the kinds of ceramic coatings that we're  
24 proposing really can be put in place; spray coated, whether  
25 you get some effects on the underlying barrier and

1 interactions between the ceramic coating and the underlying  
2 metal material, metallic material, that cause you some  
3 problems, and then the effectiveness of the backfill as a  
4 protective barrier for the ceramics.

5           Kinds of tests and analyses, we have been told, and  
6 we are looking seriously at reviewing a range of industrial  
7 experience that is out there in using spray-coated ceramics.  
8 There's some testing that we have proposed in the fiscal '99  
9 year plan to get at the adhesive strength of coating and the  
10 effects of thermal and handling loads--yes, thermal and  
11 handling loads, sorry, and measuring the permeability and  
12 density of the coatings.

13           I know there's been a lot of question about whether  
14 we could get a really homogeneous coating sprayed on and get  
15 something with very, very low permeability because people  
16 were concerned about low porous spots where water would  
17 actually pass through the ceramic coating and get to the  
18 metal more quickly than what you would originally have  
19 thought. And then corrosion tests on the ceramic has a  
20 function of thickness, structure and composition.

21           So these are tests and analyses that our design  
22 team and materials team are putting into the plan. We're  
23 coming up with proposals for where, how they can be done,  
24 what kind of times. Some of these can be done in an  
25 accelerated manner, such that even in a year, we'll be able

1 to get a pretty good handle on these.

2           Okay. Now, we're into the repository system  
3 attribute for slow release of radionuclides from the breached  
4 waste package, and this is where we do start looking at a  
5 moderate importance priority for the technical work for  
6 radionuclide-bearing colloids, driving our work in this area;  
7 information needs, such as colloid stability under the  
8 expected environmental conditions, what kinds of  
9 sorption/desorption, irreversible reactions or reversible  
10 actions can we anticipate, and then what kinds of solubility  
11 constraints on colloid formation can we come up with in a  
12 relatively short time.

13           Now, the tests and analyses to do these, I'll  
14 mention in a minute. But overall, this is an area where we  
15 have a really nice integrated program, where we have a team  
16 working from kind of the formation of the colloid out to the  
17 transport of the colloid, four national labs working together  
18 with our PA team to attempt to put together a really  
19 integrated look at colloid stability from inception to  
20 transport in the natural barriers.

21           And then as I said earlier, we do have moderate  
22 importance priority on the technical work for transport  
23 through the unsaturated zone and transport through the  
24 saturated zone. This diagrams walks us through the  
25 information needs for transport. We're now, by the way, down

1 in the attribute on radionuclide concentration reduction  
2 during transport from the waste packages. So we're now--once  
3 we have some material that is able to be mobilized, we can  
4 look--during unsaturated zone transport, we can look at lab  
5 tests. We know we have the information needs related to the  
6 reversibility of the sorption of colloids and other  
7 radionuclides, for that matter.

8           Filtration effects for the colloids is something  
9 that we believe we can get at in a relatively short time  
10 frame. The whole area of advective versus diffusive  
11 transport characteristics is one that the performance  
12 assessment modeling side has been hit on that we have to have  
13 a better way of representing or more confidence about the way  
14 we represent our transport. And better representation of  
15 fault zones and spatial variability within our models,  
16 another information need, kind of driving from the modeling  
17 analytical into the information needs spectrum.

18           From the tests and analyses standpoint, laboratory  
19 tests going on in that integrated team that I mentioned, as  
20 well as the field tests at Busted Butte, should give us some  
21 useful information about colloid transport. Also, the  
22 evaluation of transport from other DOE facilities where we're  
23 getting at some kind of information, like from the plutonium  
24 transport on the Nevada test site. And finally, once again,  
25 from an analytical viewpoint, updating the transport models

1 to reflect any new field data that we're able to get our  
2 hands on.

3           From the standpoint of flow and transport in the  
4 saturated zone, we're talking large scale bulk flow  
5 characteristics. As an information need, toward the end of  
6 our TSPA/VA, it became very clear to us that we needed to  
7 take a hard look at the way in which our saturated zone site  
8 scale and our regional scale models are talking to each  
9 other; refine those models, so that's an information need  
10 driving out into the process modeling and the data  
11 acquisition areas; and then some aspect of flux and particle  
12 velocity, such that we can get a little bit better handle on  
13 what is happening to the contaminate plume when it's in the  
14 15--10 to 20 kilometer distance.

15           So tests and analyses that will help us with that:  
16 The cross-hole tests that are in the plan right now or at  
17 least in the recommended plan. Aquifer parameters in  
18 alluvial and tuff aquifers, here we should be getting some  
19 help from some of the work that you're going to hear about a  
20 little bit later from Nye County. The local regional model  
21 interface I mentioned already. Here also, the test wells in  
22 the carbonate aquifer downgradient.

23           Our people believe that this is a fair bit of  
24 hydrochemistry and some other types of hydrologic data out  
25 there that can be easily--relatively easily used to calibrate

1 our flow models a little bit better.

2           So in this area, there's quite a bit we can do with  
3 what we already have, I think, when you look at the spectrum  
4 of information that we've pulled together to update the model  
5 for transport in the saturated zone.

6           All right. Let me just shift over for just a  
7 minute to the alternative design and the design features.  
8 And all I really want to say here is this is just a repeat of  
9 what we've already said. And you've heard that we are moving  
10 this into the mainstream. It will become the way in which we  
11 move forward to select the initial reference design for site  
12 recommendation/license application.

13           What the team that Mike Vogeles headed up has given  
14 us is a relatively long list of related information,  
15 information needs. Some of it is truly information--or data  
16 that we will need to try to get our hands on. Some of it is  
17 analytical. Some of it is just general information.

18           And we have lists of these. I just chose one from  
19 the enhanced access design concept. And on this list, you  
20 can just take a look at it and see parameters related to  
21 shielding, performance that have shielding as corrosion  
22 allowance material, general pit and crevice corrosion.  
23 There's a long list that the team that worked with Mike put  
24 together for us to make sure that we have at least a first  
25 set of potential information needs to look at as we go into

1 our detailed planning for next year.

2           And so if you look in the back of your handout, I  
3 think what you'll find--we gave you three pages from the  
4 Viability Assessment that gives you the list of related  
5 information, think of it as information needs, that accompany  
6 each of the alternative concepts.

7           And you'll also find one for the design features,  
8 such that it just gives you some idea of the details so far  
9 that have been handed to us to look at as we head into our  
10 detailed planning because as we've already talked, we have to  
11 be very careful as we go through this kind of a method that  
12 we are considering any of these information needs that drive  
13 an alternative evaluation or a feature evaluation. If it's  
14 one that has a high probability of needing to be looked at in  
15 the next year, we can't have low priority on gaining that  
16 information. So this really is going to be a difficult  
17 balancing act.

18           Now, where will we be at SR/LA? Once again, I've  
19 racked these out in terms of each of the attributes in the  
20 repository safety strategy.

21           If we look at the performance of drip shield and  
22 backfills, and there is a little arrow on this slide, that  
23 first subset there, performance of ceramic coating, really  
24 should say performance of whatever material we end up  
25 selecting for the drip shield and/or backfill.

1           But the key things that we think we can get at with  
2 some of the tests that we're planning in the very short term  
3 would be sensitivity to the uncertainty in the hydrologic  
4 properties of the backfill. There is really some potentially  
5 good performance characteristics of the backfill in that.

6           For example, we speculate as you get evaporation, you  
7 might get salt deposition in the backfill rather than on the  
8 surface of the waste package once you have actual liquid  
9 water advective flow coming back into the drift. Well,  
10 that's great. However, there are other kind of balancing  
11 parameters that are not as potentially good for us, and so we  
12 have to make sure that we look at both the positive and  
13 negative benefits of backfill. For example, the heat, the  
14 thermal effect on the cladding is one that we've talked about  
15 with you before, and then how stable this material will be  
16 over time, whatever we choose for both the drip shield and  
17 the backfill.

18           For the effects of heat and excavation on flow,  
19 which was our moderate priority data need within limiting  
20 water, contacting the waste package attribute, the improved  
21 models for heat and excavation effects on flow, we really  
22 think we'll have a pretty good handle on this one. I already  
23 mentioned that, you know, our general sense on this one is  
24 that this will not end up being a major impact on the  
25 overall--the near field environment. And so we do think

1 we'll have in a year, a couple of years, a pretty good handle  
2 on redistribution of moisture, boiling/recondensation, and  
3 the change in flow properties in terms of the way the  
4 fracture permeability changes above and below.

5           Now, when we were talking about what kinds of tests  
6 will continue and where we'll get confirmatory information, I  
7 think this is one where people point out that some of these  
8 kinds of changes are going to be only really recognized over  
9 much longer term tests results, so that these would be some  
10 where the thermal test in the east/west drift or the large  
11 scale heater tests probably, these are results that you might  
12 begin to see well out into the performance confirmation  
13 period rather than anything you're going to get a real good  
14 handle on immediately in the next couple of years.

15           For the integrity of the inner corrosion resistant  
16 barrier under long waste package lifetime, this was one of  
17 the allocations that was high or one of the priorities that  
18 was high, where we think we get within the next year to two  
19 years is define the range of environmental conditions for the  
20 waste packages, select the appropriate waste package  
21 material, the context of the overall allocation.

22           And we certainly have some work set up and some of  
23 it ongoing, some of it ready to go that will get at thermal  
24 stability, confirming our models for predictions of crevice  
25 chemistry as a function of time. This is an area where I

1 think some of our external review panels have given us a lot  
2 of feedback that this was work that needed to be done. We've  
3 really, I think, accelerated, put a lot of attention on this.

4           Increased confidence in the behavior of the passive  
5 films under the range of environmental conditions that we  
6 expect to see on the waste package surface, and the potential  
7 for repassivation. I think that the people working in this  
8 area have some pretty high confidence that within a year to  
9 two years we can get a lot of good information with carefully  
10 designed tests.

11           For the ceramic waste package coating, again this  
12 one is at a high priority under the current allocation,  
13 carrying this in.

14           We believe we could get a basis for claiming the  
15 waste packages can be reliably coated, some confidence of the  
16 ceramic coated packages can be handled safely, confirmation  
17 of the permeability or impermeability, which I think our view  
18 right now is that you really can probably create a pretty  
19 impermeable ceramic coating and an adequate basis for  
20 predicting corrosion and behavior, particularly getting a  
21 handle on the effect of any defects that are present.

22           Okay. Now, moving into the release of  
23 radionuclides from the waste package, a moderate was placed  
24 on the colloid transport. And here I mentioned that we have  
25 a very well-defined set of work going with an integrated team

1 approach that gets out the effects of secondary phases and  
2 corrosion products in the environment where the colloids are  
3 forming, effects of concrete degradation products being in  
4 that environment; then moves out and attempts to look at  
5 sorption/desorption ratios, and also any kind of solubility  
6 constraints on the formation of the colloids.

7           And likewise, when you get into the transport  
8 system now in the unsaturated zone, we have work ongoing to  
9 help us understand the transport characteristics for the  
10 radionuclides and the colloids and hopefully get an improved  
11 representation of the advective/diffusive transport, which I  
12 mentioned in the earlier slide.

13           For the saturated zone, I think I already said  
14 this, we'll get some improvement in our bulk flow  
15 characteristics, some improved interface between our regional  
16 and our local models, using some of the work that Nye County  
17 will do in the downgradient area, and then additional  
18 confidence on our flux and velocity estimates, so we'd get a  
19 good, better handle on the calculations for the doses.

20           So the status at SR/LA, to give you kind of a  
21 synopsis then, and I think I said this in the beginning, but  
22 I'll run through it again, basically I think we're of the  
23 opinion that the site processes and conditions will be  
24 characterized well enough and, you know, are well enough now  
25 to give us the ability to focus in on the right work in the

1 next couple of years to--we could establish those  
2 environmental conditions, including their ranges, to give  
3 that information to the repository and waste package design  
4 element of the program. And that repository and waste  
5 package designs then can be developed that are tailored to  
6 those environmental conditions in the way that we've talked  
7 about using the performance allocation approach that Jack  
8 just described for you.

9           And given where we are with TSPA and the  
10 sensitivity results that you saw today, I think with the  
11 improvements that we've noted, we can explicitly then address  
12 where the remaining uncertainties are, which is then what  
13 allows you to go back and look at your allocation to see  
14 whether you need to change anything, given, you know, once  
15 you've come through this process that we've just described  
16 for you.

17           The last slides are just the back-up that have the  
18 list of potential information needs tabulated for you.

19           Okay. So that's it. Thank you.

20           COHON: Thank you, Jean. In your current thinking and  
21 planning, when is SR/LA, when is that milestone? And sort of  
22 backing out from that, when do you have to fix these  
23 priorities so that you can get on with the work and meet that  
24 deadline?

25           YUNKER: Well, I think--let's see, I'd have to ask

1 somebody to give me the exact dates for it. I don't know,  
2 Jack, do you have them in your head, or if somebody can give  
3 me the--

4 BAILEY: July, 01.

5 YOUNKER: July 01 is the site recommendation, and then  
6 in March, 02--March of 02?

7 BAILEY: Right.

8 YOUNKER: March of 02 is our LA date. And what we're  
9 assuming, though, is, you know, that initial selection next  
10 May of the SR/LA design, you know, we certainly would like to  
11 have been through this process once and be pretty certain  
12 that we've got the right alternatives and features included  
13 in that design, and that, of course, feeds back to what kind  
14 of a performance allocation we've performed in the meantime  
15 to include any reliance on natural barriers, additional  
16 natural barriers.

17 COHON: Do you have a date in mind when you want to fix  
18 these priorities? In other words, declare as final that--the  
19 ratings for the various things to come?

20 YOUNKER: Well, from a licensing strategy perspective,  
21 there are some dates that we have where we say we're going to  
22 freeze our licensing strategy. In a sense at least--I mean,  
23 I'm kind of the person who listens to the licensing people  
24 tell me when it is they need to have the information backed  
25 off from when we'll write our site recommendation supporting

1 information, when we'll write our license application text.  
2 So I turn to Jack because they set the schedules for us  
3 essentially.

4 COHON: Well, let me restate it in a way that might be  
5 more productive and easier to answer. My guess is the Board  
6 will be eager to comment on these rankings that you have.  
7 When would you need our comments by? That's the real  
8 question.

9 YOUNKER: Well--

10 COHON: Well, maybe you could let us know. I mean, you  
11 don't have to say it right now.

12 YOUNKER: Yeah, I was just going to say, well, you know,  
13 what you heard me present will be--some form of that will be  
14 in the Viability Assessment product that comes out in  
15 September. And so I assume that you all will be in some  
16 manner commenting on the Viability Assessment. So I think  
17 at least that's one venue. There may be others as well.

18 COHON: I assume, though, that you'll want to get on  
19 with a lot of the work. I mean, you are already.

20 YOUNKER: That's right.

21 COHON: But you'd like to--you know, so if you'd let us  
22 know what would be a good date to comment on this.

23 BARRETT: Well, maybe I can add a little on that at this  
24 point. Let me just make a general comment on this issue of  
25 temperature, not too hot, not too cold. We've been

1 discussing here, and there has been very good dialogue, the  
2 balance between natural barriers and engineered barriers and  
3 stuff like the yin and yang discussion. You go back and  
4 forth. There is no right, and there is no wrong.

5           Now, this topic was a Board-chosen topic, an  
6 excellent topic, and in our classic way, you know, we want to  
7 be full and open and discuss it, and the contractor team has  
8 views, as I think you've gotten the impression it is weighted  
9 toward engineering. Some might think too much, some might  
10 think too little, depending on your point of view.

11           DOE, Russ Dyer and myself, have not decided yet  
12 what we're going to do.

13           All right. Now, back to dates and times. The work  
14 plans are signed by Dr. Dyer and signed by me on October 1  
15 basically, based on the contractors' recommendations to us.  
16 They are in the middle of doing that now as we're getting our  
17 budget guidance from the Congress. Also, we are preparing  
18 the Viability Assessment, which includes the licensing plan  
19 and the cost estimates per the statute for the work to be  
20 done between now and LA. So to do that, we need to--what is  
21 in that as our plan.

22           Now, that plan will be presented to the secretary  
23 for the secretary's review in September so that can  
24 correspond basically with our work plan. So they kind of go  
25 together.

1           So feedback from the Board is very valuable to the  
2 contractor and also to Dr. Dyer and myself on this. There is  
3 no right, and there is no wrong.

4           So the sooner, the better. I mean, just to  
5 comment, and the dialogue here I will say is helpful to me,  
6 and I think it's helpful to our team as we discuss these  
7 things.

8           Once we have published the Viability Assessment,  
9 the Nuclear Regulatory Commission will provide their views.  
10 Now, when it comes to is this the proper set of work between  
11 now and the license applications, their views will be most  
12 important. Your views will also be important. I think one  
13 thing we need to be careful with, that there is no  
14 misunderstandings regarding the next major step, which is not  
15 the license application, is the site suitability as we talked  
16 this morning. And the work is driven primarily by the  
17 license application.

18           But just because we talk a lot about the  
19 engineering aspects and different barriers and different  
20 materials and different approaches, we still have site  
21 suitability, and I think as Dr. Craig mentioned, you know,  
22 just because you don't hear that every other word doesn't  
23 mean that's not important because it will be a balanced  
24 program of natural and engineered. That's what I want and  
25 Dr. Dyer wants, and your views will be helpful to us.

1           But I mean, clearly, we are not engineering a bad  
2 site, and the siting is an important part of this, but then I  
3 think the engineering can compliment any natural site. And  
4 it does matter very much if you're in saturated or  
5 unsaturated and all those kinds of things. Even though we're  
6 kind of shifting toward squiggly curves out to a million  
7 years doesn't mean we still aren't caring about the basics to  
8 what we have, and it can easily get lost. And noise can get  
9 into the system, especially from such an important body as  
10 the Board, who will write to the President and will write to  
11 the Congress.

12           And I would like to have the opportunity, as I'm  
13 sure you will afford us the opportunity, to have the Board's  
14 views when the Board has a view. I mean, the different  
15 members--as you said, Dr. Cohon, in the very beginning,  
16 members have views. Contractors and individuals and DOE have  
17 views as well, and it's not necessarily ours until we sign  
18 it.

19           So the earlier, the better. And then when the  
20 Board does have a view, or even individual members have  
21 views, as we hear them, we will try to accommodate. But  
22 clearly, the Board's views are most important, and before  
23 there is noise in the system, in the upper--in the Congress  
24 and the White House, I would like the opportunity to try to  
25 address it to find a win/win way before we get into that type

1 of thing. And I'm sure you will attempt to allow us to do  
2 that.

3 COHON: Understood. Thank you.

4 Well, we'll go this way, Paul, Debra--

5 CRAIG: Craig, Board. I will try to speak into the  
6 microphone. Yeah, it really is a fascinating and difficult  
7 time in the history of this project, and it is real important  
8 to remember that there's life after LA. And we did see a  
9 bunch of experiments up on the mountain yesterday where the  
10 results won't be in for 10 years, and those are important  
11 experiments. They are really important experiments.

12 Nevertheless, here is Craig's view, which as our  
13 Chairman always says, may or may not be on the--for having  
14 anything to do with what the Board thinks. But I've been  
15 following the engineered barrier and corrosion research  
16 pretty intently in the last some months, and I've got to say  
17 that given where you are today, it is absolutely proper to  
18 rely on engineered barriers for a lot, and there are a whole  
19 set of really important questions, many of which probably can  
20 be answered in the next year if you have the right technical  
21 program.

22 So I personally like the research priorities that  
23 emerged here. I wish you weren't in this position, but you  
24 are. Given that you are, I think it's a good set of research  
25 priorities, and what I would love to see next would be the

1 specific details on just exactly what research programs you  
2 intend to run because those are critical, and they can be  
3 done right or wrong. I'd sure like to have an opportunity  
4 to--

5       YOUNKER: Yeah, the detailed planning is under way.  
6 We've just kind of completed the mid level and are ready to  
7 roll with some interactions with the DOE to make sure that we  
8 have kind of their thoughts incorporated. So detailed  
9 planning for '99 is about to go.

10       COHON: Debra Knopman.

11       KNOPMAN: Knopman, Board. Jean, would you clarify a  
12 statement you made quickly in talking about flow and  
13 transport in the saturated zone? It was your Slide 11. You  
14 seem to suggest that you sort of have the tools in place  
15 already to glean additional information, and it sounded like  
16 in combination with the drilling program of Nye County that  
17 you'd probably get what you felt you needed by LA.

18               But I'd like you to clarify now for us what the  
19 status is on the second set of--second well complex that we  
20 had heard about. There's some confusion on our part as to  
21 whether that is proceeding in a time frame that would be  
22 relevant to LA, and if you're not doing that, what exactly  
23 are you going to do with the C-Wells Complex? And if you  
24 can't answer this question entirely now, we really want to  
25 get some more detail on this.

1           YOUNKER: I did ask to have people here who could  
2 respond to that question because I'm not familiar with  
3 exactly where we are on it. But I think probably from the  
4 M&O side, Ron Smith, do you know the status on the C-Well  
5 planning? And then maybe let Ron comment, and then see if  
6 Dennis or someone from DOE wants to add anything.

7           SMITH: C-Well Complex is--

8           YOUNKER: Oh, Ron Smith from the M&O.

9           SMITH: I'm sorry, Ron Smith, M&O will continue into the  
10 next year. All we've recognized is we've seen the program  
11 that Nye County has proposed, and we see in it a real  
12 opportunity to piggyback the work that the M&O is doing with  
13 that of Nye County.

14                   So I think Second Testing Complex, or STC is  
15 probably--we are looking in the planning now to try to find a  
16 way to integrate the two programs to work with Nye County.  
17 We'll see their complex of boreholes as Nye County presents  
18 their results, and I think that presents us with an  
19 opportunity to do that work in a place we really need it,  
20 which is in the alluvial area and down in the paleozoics.

21           KNOPMAN: But their wells are different than the ones  
22 that we had been talking about before for a Second Testing  
23 Complex. There was one that was just south of the C-Well  
24 Complex that I had understood would be in some deeper units,  
25 and you'd be looking at trying to get aquifer properties

1 extended over a larger spatial area.

2           And, you know, there was testing that was done at  
3 the C-Well Complex that was cut short or important--this is a  
4 data poor area is what I'm saying, and one can do more model  
5 development, but it's not going to get you very far in the  
6 absence of some increased data collection.

7           So we just need more detail on what your data  
8 collection activities are going to be from now and through  
9 the next two or three years.

10         DYER: Okay. We can give you more detail, but again,  
11 the C-Well Complex will continue, and there is, again, more  
12 extended test in the Prow Pass and the Bullfrog, which are  
13 the places we were missing data. Hydrologic tests are going  
14 on now. There will be tracer tests going on.

15           But again, I think--we're looking at two other  
16 locations for the STC. We believe the more productive area  
17 is to look down south in the area where Nye County is  
18 working. But we can get you that information.

19         COHON: Priscilla Nelson.

20         NELSON: Okay. My question here relates to I guess the  
21 fact that a lot of the focus of these is towards natural and  
22 engineered barriers in terms of understanding their  
23 properties or data for input. We've also got some processes  
24 themselves that are available for consideration to determine  
25 whether they can be improved, or whether they're correct or

1 not or alternative models need to be developed.

2           So that's one comment. The second comment that  
3 came up, and it's certainly not my field, but it's something  
4 I've always wondered about, deals with neptunium solubility,  
5 and that it has changed fairly radically in what has been  
6 done with that. And here we see it as L, for low. It's my  
7 understanding that that's not because there's no impact on  
8 dose because it's a fairly significant component of the long-  
9 term dose calculations.

10           So I'm wondering about what the L means in this  
11 context, and does it mean that the process that's involved is  
12 known very well so no additional data is required, or does it  
13 mean that it's not known very well, but you can't get it any  
14 better, reasonable?

15           YOUNKER: Yeah, I think that's one that has been raised  
16 as one that we need to look at. I know that people have been  
17 talking about it in the last week or so. But I think if you  
18 look at Bob Andrews' plot, the sensitivity at the end of it  
19 to that, I think it's less an order of magnitude, isn't it,  
20 Bob, or about an order of magnitude?

21           So I mean, it's one that's on the margin. You  
22 would consider the cost of that work. If you thought you  
23 were going to get a better handle on solubility, and  
24 potentially it was lower than what you're assuming in your PA  
25 calculations, you'd have to balance that off against--

1           NELSON: Well, maybe Bob can tell--how much was it  
2 varied in order to observe one order of magnitude difference?  
3 I mean, it has moved several orders of magnitude over the  
4 past recent years.

5           YOUNKER: Yes, it did.

6           NELSON: And so you've selected some amount of variation  
7 that you're going to consider for sensitivity, and I don't  
8 know how much that is.

9           ANDREWS: Yeah, let me try to--this is Bob Andrews at  
10 the M&O. We didn't talk about neptunium solubility, the  
11 details this morning, but there's a wide range of data on  
12 neptunium solubility, some of it from over saturation. Those  
13 are not believed to be stable for long-term prediction uses,  
14 at least from modeling studies. And there's a number from  
15 laboratory observations of water in contact with spent fuel.  
16 Those are very much lower, several orders of magnitude  
17 lower. It's quite an extensive range. The total range that  
18 we used is between those two N members, if you will. It  
19 encompasses about three orders of magnitude of neptunium  
20 solubility. So the ones that were very high are not stable  
21 for long term, and the ones that are very low are also  
22 probably not stable for long term. It might be true for the  
23 first thousands or even tens of thousands of years, but not  
24 for long term predictions.

25                   One of the things that is going to go on is to

1 better examine these secondary phases which do control the  
2 soluble neptunium concentration on the waste form surface and  
3 to re-look at some of the Argonne data, that testing data  
4 that they have on the formation of those secondary phases and  
5 correlate those to natural analogs of secondary phases in  
6 that form when UO<sub>2</sub> alters in the presence of oxygen and  
7 water.

8           So our total range was three order of magnitude,  
9 and that's what drove it to have--

10       YOUNKER: In the solubility of--

11       ANDREWS: In the solubility.

12       YOUNKER: Okay.

13       COHON: But you don't sound like a man with high  
14 confidence in our current knowledge of neptunium solubility.

15       ANDREWS: That's why we have three orders of magnitude  
16 range on neptunium solubility.

17       COHON: No, no, I know. Our current confidence is  
18 judged to be high in this table.

19       YOUNKER: But we could--

20       ANDREWS: We've reasonably bounded that uncertainty.

21       YOUNKER: That's right. We could be high confidence  
22 that that's the right range to use and that we won't do much  
23 better. I mean, that could be the answer to the question.  
24 I'm not saying it is, but that would be a reasonable answer  
25 given the method we're using, that I will accept that bound,

1 I believe I can defend it, and I will move forward with that  
2 range of solubility in my modeling.

3       NELSON: I'd like to defer just to Don, if he has any  
4 follow-up questions, because he was the source of some of the  
5 discussion there about neptunium.

6       RUNNELLS: The question you raised, Priscilla--Don  
7 Runnells, Board--is one of the detailed questions that I  
8 mentioned this morning that I probably addressed with Bob or  
9 someone else individually.

10               But the change in solubility does have profound  
11 effects on that ultimate dose, and the average change in  
12 solubility, if you'd like, is about two orders of magnitude,  
13 but the total range is probably, if you take the highest  
14 value and the lowest value, about six orders of magnitude.

15       NELSON: Yeah, it was higher.

16       RUNNELLS: And the question I ask you, Bob, about the  
17 secondary phases, the secondary minerals, was directed really  
18 at that question specifically. As  $MPO_2$  dissolves, if that's  
19 the proper phrase--and my friend Dan says he's not convinced  
20 that  $MPO_2$  is, in fact, the starting material, the proper  
21 starting material. As that dissolves and produces a whole  
22 sweep of secondary minerals alteration products, that's when  
23 I was leading into the spring flush, if you like, how will  
24 those behave when they see additional water.

25               Now, I was happy to hear you just a moment ago,

1 Jean, say that there's an ongoing or a good program in  
2 studying secondary mineralogy and the solubility of the  
3 secondary mineralogy. I guess I would say simply that from  
4 the data that I've looked at, the three orders of magnitude  
5 variation solubility is not perhaps as conservative as I  
6 would like. In fact, I might go with five orders of  
7 magnitude and say that would encompass the uncertainty.

8 Priscilla, does that address--

9 NELSON: Yes, thank you.

10 RUNNELLS: Okay.

11 COHON: Richard Parizek.

12 PARIZEK: Parizek, Board. You've got Slide 22, which is  
13 the unsaturated zone, and Slide 23, the saturated zone.

14 COHON: Go ahead.

15 PARIZEK: Yeah, of the two slides, 22 and 23, they  
16 concern some of those study needs in the unsaturated zone and  
17 the saturated zone. And I can see an aggressive program  
18 underway and continuing with the unsaturated zone, with the  
19 niche studies that are ongoing, the planned new niche  
20 studies. There's the drift scale heater experiments  
21 underway. We've heard of new heater experiments on a smaller  
22 scale being planned in the future. So there's a lot  
23 happening there, plus the Busted Butte work. And so that's  
24 aggressive, and so Paul Craig ought to feel happy about it,  
25 and he's aware of that.

1           The saturated zone we're still a little bit vague  
2 about, and I know Nye County is going to give us a  
3 presentation. Perhaps we ought to wait until we hear what  
4 their drilling plan is all about, maybe the testing that  
5 they're planning there.

6           But it seems like from what Ron Smith said, that  
7 you will maybe use some of those realms to do studies. What  
8 kind of studies? Will it be pumping tests? Will it  
9 geochemical sampling? Will it be isotopic work? Will the  
10 drilling be done in a way that the quality of the data you  
11 collect is meaningful, or will it be contaminated by the  
12 drilling process? There's a whole series of questions of  
13 that type that I'll wait until later to hear what's being  
14 planned.

15         YOUNKER: And that's part of that collaboration that Ron  
16 Smith was talking about. We really want to make sure that  
17 we're going to be able to use their information, and they  
18 likewise share that concern. So we'll be working together on  
19 that.

20         PARIZEK: Right. So that's a happy situation.

21           In terms of the regional modeling again, some  
22 update as to where that's leading, as well as the  
23 geochemistry updates because there's a lot of analog value in  
24 geochemistry, the patterns of flow and water quality is kind  
25 of validating flow models and maybe getting at dilution

1 dispersion.

2           But I still feel strongly that the transient time  
3 period with heading toward pluvials means more recharge,  
4 which also means change in groundwater flow details, which  
5 gives you dilution and mixing. And you really should get  
6 credit for dilution mixing if there's going to be any. It  
7 seems like we backed away from it for reasons that you need  
8 to get on with VA, but at the same time, there's value there.  
9 And I'm sure you could probably give us some further  
10 information of how you're going to handle future modeling  
11 efforts or revisions in them.

12         YOUNKER: Yeah. Not answering the specific questions  
13 because I think it's probably--probably some other people  
14 would have to answer the specifics, but I think this is one  
15 area where, just like we talked about, you know, under a  
16 constrained program, you have a certain amount of budget,  
17 that the kind of work that you're talking about in the UZ  
18 clearly has some high value to us, and there's some of it  
19 that we will want to continue.

20           If the allocation that DOE accepts is to shift a  
21 certain amount of work and spend a certain amount of work on  
22 some of the engineered system characterization that we're  
23 talking about, then some of the materials work that we've  
24 been told we have definitely not put proper priority on by a  
25 number of folks, then I think some of that work you're

1 talking about will have to be looked at. And that's what  
2 this is--that's when Lake is talking about the balancing act  
3 between the money that we spend.

4           I mean, when you look at the discretionary dollars  
5 that you have to spend in a program like this, you know, you  
6 do end up doing some very difficult tradeoffs. And it comes  
7 down for the most part, if your infrastructure costs and the  
8 costs of doing business are as well constrained, as efficient  
9 as they can be, then it does come down to tradeoffs between  
10 some of the scientific work and some of the engineering work.

11           So, you know, it's a very difficult balancing act.  
12 And I think, like Lake said, you know, in no way do we know  
13 exactly what balance we'll have going into FY-99 at this  
14 point. But, you know, we're putting our best information  
15 together and on the table, and we'll work with DOE to try to  
16 determine, you know, whether that kind of program that you're  
17 talking about is the one that should be supporting the kind  
18 of priorities that we think we need to have moving toward LA.

19           COHON: Dan Bullen.

20           BULLEN: Bullen, Board. I, again, want to compliment  
21 you on the performance allocation development, but now I want  
22 to ask the follow-on really tough question. The really tough  
23 question deals with as you gather more information and you do  
24 the tests and analyses, and the one that jumps off the page  
25 at me, obviously, is the materials test.

1           When you learn about the phase stability, the drain  
2 bound region and the as-welded region of C-22, if you decide  
3 that it's important that you understand its performance, and  
4 you think that that's where you're going to put a great deal  
5 of your effort to evaluate and to take credit for  
6 performance, how much of the other performance of the system  
7 are you willing to trade off, or sacrifice, to ensure that  
8 you know that that performance is, indeed, occurring? And,  
9 obviously, this leads into why don't you do post-weld heat  
10 treat because then you wouldn't have to worry about secondary  
11 phases near the drain boundaries, and it will be there in a  
12 situation that you know will exist.

13           YOUNKER: You're talking about the exact kinds of  
14 discussions that we have to have in terms of allocation.

15           BULLEN: Right. And I guess the question is, how do you  
16 do that? That's kind of--I mean, it's an example that you  
17 knew I would make, but how do you make that? Cladding credit  
18 is high. C-22 credit is high. Now, if we do something to  
19 make the C-22 more--excuse me, less uncertain, then do we  
20 sacrifice something else? And how do you do that? That's a  
21 tough call.

22           YOUNKER: Exactly right.

23           BULLEN: I just would like to know what your thoughts  
24 are.

25           YOUNKER: I agree it's a tough call, and those are

1 exactly--it's the reason we have developed the method, so we  
2 can be as explicit as possible about the decisions we're  
3 making. I mean, I think that's all you can do, is get it  
4 down on paper so you can focus on what decisions are driving  
5 your priorities.

6         BARRETT: Barrett, DOE. Dr. Knopman asked a good  
7 question earlier, and I'm not sure she got a direct answer on  
8 the Southern Tracer Complex, on exactly what our intentions  
9 are regarding the Southern Tracer Complex. Let me back up a  
10 little bit.

11                 In '98, I had a \$30 million hit, okay, and we  
12 absorbed that, I think, reasonably well. I'm looking  
13 basically at a \$20 million hit here in '99, thereabouts. I  
14 basically committed virtually all our reserves to build a,  
15 let's see, northeast to southwest drift, at very strong  
16 influence on our decision from this Board.

17                 Okay. So now we are somewhat living with that  
18 because we committed pretty much all the reserves to do  
19 desirable things. I believe if we didn't do any of the  
20 things we've been--if we didn't do much of the things that  
21 we've been talking about here today, we'd still have an  
22 adequate base program, but not one that we would like to have  
23 at all.

24                 So now we've got some really hard choices to make  
25 regarding are we going to do this on the Tracer Complex,

1 which is very valuable and we would certainly like to do, but  
2 right now that is swinging in the wind, all right, versus  
3 engineering that we've talked about, versus solubility work  
4 we've talked about. And I'll bet there are a dozen other  
5 items that we haven't talked about that are very important to  
6 us all as very positive, desirable things that we should do.

7           But it's getting very closely--we've got to get  
8 soon, in the next couple of months, we're going to give  
9 direction to the contractor to go. And all we can do at this  
10 point is do the most thoughtful balancing of these competing  
11 goods, as it's been described, and choose the best ones for  
12 this program and this nation. And that's what we're trying  
13 to do.

14           So the dialogue is good, but it is not clear. I  
15 mean, I'm unclear, the Southern Tracer Complex, I don't know.  
16 We'd love to do it. We hope that the Nye County work, we  
17 can work that, and that can be adequate and enough, but we  
18 just don't know, and that's part of where we are. We did  
19 commit those reserves, and that was it. And we said in the  
20 hearing process, the budget process, we have no money left  
21 now for contingencies and new issues. We absorbed an awful  
22 lot of this, and we can't absorb much more.

23           So it's getting down to nice-to-do versus  
24 necessary-to-do in the dialogues. And I think Steve or  
25 Dennis had something.

1 YOUNKER: Dr. Cohon, would it be okay for--

2 COHON: Well, you guys sort yourself out.

3 WILLIAMS: Do you want me to say something?

4 YOUNKER: Please, Dennis Williams.

5 COHON: Dennis Williams, DOE.

6 WILLIAMS: Regarding the Southern Tracer Complex, I  
7 think one of the things we lose sight of is what the  
8 particular objectives of that complex were, and they had to  
9 do with things such as scaling to get us a larger area to do  
10 hydrologic and tracer tests on, also to look at the potential  
11 interference from faults that may be in the area in an area  
12 that's in the downgraded area.

13 Although we do have some difficulties right now  
14 trying to configure this test, we are looking at what we can  
15 do with possible spacing out the C-Well Complex, wider with  
16 extra drill holes. Of course, we have the opportunities now  
17 that Nick Stellavato and Nye County has offered us to  
18 possibly do some things with some of his drill holes to get a  
19 larger scaling effect to look at the influence of faults,  
20 those types of things.

21 So just to say that maybe the Souther Tracer  
22 Complex as originally envisioned may not be on our screen  
23 because of some difficulties in funding, but we still have  
24 some of those objectives in mind and trying to get those  
25 objectives incorporated into existing programs that we can

1 hopefully field in the next year or two.

2       BROCOUM: I just want to make a comment on the  
3 performance allocation.

4       YOUNKER: Steve Brocoum, DOE.

5       BROCOUM: Steve Brocoum, DOE. I want to make a comment  
6 on the performance allocation, which is so important. You've  
7 had a lot of questions about the high, the mediums and the  
8 lows. I have to say from my perspective of managing the  
9 completion of the VA, that area has been the most difficult  
10 for us to manage. When you get the VA, make sure you read  
11 Section 2 of Volume 4. That is where the logic and the  
12 explanation will be for the actual performance allocation.  
13 We're getting that in next week for the DOE management  
14 review. So there may be some changes from what you've seen  
15 today, so this is work in progress. In fact, when I look at  
16 the tables today, they've changed since last week. Some of  
17 the mediums and highs have changed.

18               So this is work in progress, and we're presenting  
19 to you work in progress, and that's the point I want to make.  
20 We have not fully embraced it at DOE yet. We realize it has  
21 to be done, and it's a very important activity, and it's very  
22 difficult to do, as you can imagine.

23       COHON: Thank you. Alberto Sagüés has the last  
24 question.

25       SAGÜÉS: And a short one at that. Things such as inside

1 of package, like C-22 outside and carbon still inside, or the  
2 dual corrosion system package, are those issues that are not  
3 to be looked at or they're not--or they would be investigated  
4 under a different heading?

5           YOUNKER: As a part of the alternatives that would be  
6 looked at, I think both of those--I think there's no question  
7 both of those will be entered into that list that gets looked  
8 at as we head into the selection of the reference design.

9           So you're talking about having the CRM on the  
10 outside?

11          SAGÜÉS: Right, right.

12          YOUNKER: Yeah, and the structural material on the  
13 inside?

14          SAGÜÉS: Is that a different list from this list that  
15 you are showing in here?

16          YOUNKER: Is that one on the alternatives list? Yes,  
17 it's on our list. It's on our list already. It will be  
18 considered, as also the dual CRM.

19          SAGÜÉS: I see, thank you.

20          COHON: Thank you very much, Jean.

21                 We will now take a break for 10 minutes.

22                 (Whereupon, a break was taken.)

23          COHON: Our next session is on Environmental Impact  
24 Statement alternatives, to be presented by Wendy Dixon,  
25 Assistant Manager for Environment, Safety and Health, and she

1 will be assisted by Lee Morton.

2 Wendy?

3 DIXON: Okay. The discussion elements in the  
4 presentation this afternoon include as it relates to the  
5 implementing design alternatives, Nuclear Waste Policy Act  
6 considerations, the overall goals of the Environmental Impact  
7 Statement construct, some information on the background on  
8 the selection of thermal load as the foundation for the EIS  
9 implementing alternatives, and finally, and this part of the  
10 presentation will be presented by Lee Morton, a discussion of  
11 the analysis of design features and their integration into  
12 the Environmental Impact Statement.

13 Let's start out with Nuclear Waste Policy Act  
14 considerations. This is basically a refresher. We talked a  
15 little bit about this in January. The EIS is intended, as  
16 you know, to support a secretarial recommendation to the  
17 President on the development of Yucca Mountain as a  
18 repository. And as you know, the approach to alternatives in  
19 the Environmental Impact Statement was developed based on  
20 what we term the Nuclear Waste Policy Act's road map.

21 In the Nuclear Waste Policy Act, Congress told us  
22 that we did not need to consider in this EIS the need for a  
23 repository, alternatives to geologic disposal, alternative  
24 sites to Yucca Mountain. In essence, Congress made these  
25 decisions for us and directed the Department to streamline

1 its evaluations in the EIS. If Congress had not done so,  
2 these may have been major alternatives that would have had to  
3 be considered in the EIS.

4           Thus, the proposed action for this EIS is to  
5 construct, to operate and monitor, and to eventually close a  
6 repository for the disposal of spent nuclear fuel and high-  
7 level radioactive waste at Yucca Mountain. The really key  
8 alternatives for this EIS are whether or not to recommend the  
9 site to the President. That is from a NEPA point of view the  
10 key alternatives.

11           With respect to the goals of the EIS construct,  
12 there's really two very major goals, and under them some  
13 subset goals. The first one is to focus on significant  
14 environmental issues, and this ties back to the CEQ guidance  
15 that basically says that we need to focus on those issues  
16 that are important to the decision maker and not to spend  
17 time amassing a bunch of needless detail. So as a sub-  
18 element of a goal we need to provide information on issues  
19 that are important to the decision maker, and, obviously, one  
20 of those is the long term repository performance, tied to  
21 human health and safety.

22           We want to as part of our overall EIS construct  
23 preserve engineering flexibility and the ability to  
24 accommodate eventual LA design. We're not at LA design now,  
25 that's some time in the future, and we want to preserve the

1 flexibility to deal with and accommodate whatever that LA  
2 design might eventually be.

3           We do not anticipate decisions on these  
4 implementing alternatives. These decisions, as it relates to  
5 design issues, will be made as a part of the evolutionary  
6 design process. And I think it's probably important to  
7 underscore the fact that EISs normally deal with the  
8 conceptual level of design. They don't deal with the really  
9 detailed design issues. Those are left as you move forward  
10 to optimal design, to final design, and then as you move  
11 forward and you move down that path, you deal with your value  
12 engineering studies, your tradeoff studies and so forth.  
13 Those are dealing with your more final designs. EISs  
14 typically deal with conceptual designs.

15           We need to also recognize the need to take  
16 advantage of all the previous engineering and site  
17 characterization work that's been going on. We're not going  
18 to reinvent the wheel. We have 15 years of data out there,  
19 and we're going to make use of this data. And we need to  
20 recognize uncertainties in the continued evolution of the  
21 reference design, both performance-related, which we term the  
22 long-term impacts, as well as the operational aspects, which  
23 are the short-term aspects.

24           And finally, as a major goal for this EIS, what  
25 we're trying to do is reasonably represent the range of

1 environmental impacts from the proposed action. This is an  
2 important point, and I'd like to say it again. One of our  
3 main goals is to reasonably represent the range of  
4 environmental impacts from the proposed action.

5           Okay. This sort of ties to where we were going on  
6 the EIS construct, and what we wanted was a tool to do what I  
7 just said, to evaluate the range of impacts and implement, and  
8 alternatives is one of the words that we claim to do just  
9 that.

10           We originally looked at all kinds of design  
11 features that might serve in that capacity, and what you see  
12 on this particular chart is just a very small sub-element of  
13 the list of design features that we tried to consider to  
14 determine which kinds of features or, you know, implementing  
15 alternatives would best bound and be, you know, multi-  
16 dimensional, the greatest number of potential impacts.

17           We looked at the types of disposal containers and  
18 materials. We looked at drift size and spacing. We looked  
19 at waste emplacement schemes. We looked at canisters versus  
20 the uncanistered fuels and surface facilities sizing and  
21 capabilities; again, to name a few. There was a large list.

22           And as we were going through this process, we  
23 realized that there were almost limitless possibilities in  
24 the numbers of design elements you could end up considering.  
25 We also recognized that as you looked at these various

1 features, that they really could be put into basically two  
2 categories. And one was are they performance-related, i.e.,  
3 long-term impacts, or operational related, i.e., short-term  
4 impacts.

5           Through our analyses, again looking at these  
6 various design features that we were considering, we found a  
7 lot of them couldn't look at a very broad range of impacts,  
8 but there were a set which we have coined the term tied to  
9 thermal load, which probably is perhaps better said aerial  
10 mass loading. That was the lowest common denominator. It  
11 influenced the greatest number of things.

12           For example, as it relates to long-term  
13 performance, thermal load influences the corrosion of your  
14 waste package, influences groundwater flow, which leads to  
15 the transport of radionuclides, and it also influences a  
16 number of your operational or short-term features through the  
17 course of your analyses.

18           Again, what we were looking for was the ability to  
19 evaluate a full range of environmental impacts through these  
20 thermal load implementing alternatives and the types of  
21 things that can be evaluated using thermal load. And I just  
22 have some on here for purposes of examples, includes such  
23 things as, you know, start out with operational or short-term  
24 impacts land use.

25           There's a difference in the amount of land use from

1 low thermal load to high thermal load. There's a difference  
2 in the amount of muck that you're going to generate from your  
3 excavations. There's a difference in air quality because in  
4 the low thermal load, I have more equipment and more  
5 tunnelling. Safety issues, that ties to it, too; number of  
6 workers, amount of tunnelling that might need to be done;  
7 ecosystems, amount of land disturbed; socioeconomics, number  
8 of workers that would be employed; waste management, the  
9 differing amounts of hazardous materials that might be  
10 generated from your activities, and, obviously, utilities  
11 would fall in that category as well.

12           I have another slide that takes utilities down to  
13 the next level of evaluation that you could go to for the  
14 EIS, and I'll get to that in a minute because first I'd like  
15 to mention that, obviously, it also deals with long-term  
16 related impacts, those important as it relates to  
17 radiological impacts to the public, and finally, the  
18 potential for impacts for ecosystems as it relates to high  
19 thermal load.

20           Okay. I mentioned that we take a look at  
21 utilities. Again, this is just for example. But if we  
22 pulled the utilities off the other slide, and you broke it  
23 into its lower component sub-parts, utilities would include  
24 electrical power, your potable and construction water use,  
25 your sanitary sewer, your communications, and these are all

1 on the upper level bounded by your low thermal load case,  
2 which requires a greater number of work force, greater  
3 excavation, larger number of tunnel boring machines, more  
4 conveyers, more ventilation fans, more waste transporters,  
5 and the list goes on.

6           This is also just for presentation purposes, but  
7 we're trying to get across the fact that as you look at from  
8 an operational standpoint thermal load as a potential  
9 implementing alternative, it does cover a number of different  
10 areas for evaluation in the Environmental Impact Statement;  
11 extent of excavation, worker size, support facility layout,  
12 dust generation. We've mentioned a number of these before,  
13 but it's a fairly extensive listing.

14           As a result of our analyses on high, intermediate  
15 and low thermal load, as well as a number of the other  
16 features that we mentioned to you earlier, and the list, as I  
17 said, goes beyond that, we did end up selecting thermal load,  
18 the three thermal load implementing alternatives, to bound  
19 the long-term performance impacts of any likely LA design  
20 variations and recognize that there were a number of short-  
21 term operational impacts that were also bounded by using  
22 thermal load as your implementing design alternative.

23           We recognized through our evaluation that this did  
24 not cover the full range of impacts and there were additional  
25 analyses necessary, so we picked up two other options for

1 evaluation, again as tools to understand the full range of  
2 impacts from the proposed program. And these included both  
3 packaging options and transportation options.

4           And on the packaging side of the house, we have as  
5 a scenario the fuel other being canistered or uncanistered,  
6 and, obviously, the upper bound for impacts is the  
7 uncanistered fuel, where all the fuel to the maximum extent  
8 possible would come in on canistered. You would have to deal  
9 with the handling operations. You would have a bigger waste-  
10 handling facility, more land used, more workers involved,  
11 greater health and safety impacts from potential worker dose.  
12 And these are the kinds of things that would be--again, these  
13 lists aren't all inclusive, but they're examples of things  
14 that can be evaluated and would be evaluated by looking at  
15 packaging and transportation options as well.

16           I've been using the word bounding now for awhile,  
17 and I thought it was by this time in the presentation  
18 appropriate to, you know, spend a moment on what we're  
19 talking about and what we're really focusing on as part of  
20 our evaluations. And that focus really is to represent the  
21 upper case environmental impacts from a particular feature or  
22 combination of features.

23           The consideration of lower environmental impacts  
24 really ties into the equation when the impacts are deemed  
25 significant. And I guess I also would like to add that the

1 significant environmental impacts that would come out from  
2 our analyses as it related to design features and  
3 alternatives--and we're working on an analysis of design  
4 features and alternatives to make sure that we have  
5 adequately bounded impacts. Should analyses show that any of  
6 these impacts are significant, we'll factor them into the  
7 work that Mike Vogeles is doing, you heard about earlier, and  
8 their criteria and evaluation for, you know, ultimate  
9 decisions on what they might do at some point in time for the  
10 LA design.

11           This, again, is just an effort to try to explain  
12 what we're saying when we talk about impacts bounded. We'll  
13 feel we're successful if the analyses in the EIS provides for  
14 us that outer circle. And when the LA design is complete and  
15 when LA, you know, moves forward, the LA impacts from that  
16 design are within the overall umbrella of what we've  
17 encompassed in the Environmental Impact Statement, i.e., it's  
18 okay if performance gets better. We want to make sure that  
19 we've done the higher upper bound in the Environmental Impact  
20 Statement. If we find out on the other hand that impacts  
21 weren't bounded and the impacts that come out of the LA  
22 design are outside of the circle that we've evaluated, we'll  
23 have to go back and do supplemental analyses to determine if  
24 those impacts aren't fact significant.

25           This doesn't show up very well on this picture, but

1 this was intended to be sort of the overall, you know,  
2 diagram of what we're considering at it relates to the EIS  
3 and our analysis of a full range of impacts for the EIS.

4           Again, the major alternatives and ultimate  
5 decisions are whether or not to recommend the Yucca Mountain  
6 site to the President, which equates to in real short terms  
7 our "go, "no go" alternatives, and they tie down to the tools  
8 we're using to analyze impacts.

9           And on the design side of the house, we have our  
10 implementing design alternatives, which equate to high,  
11 intermediate and low thermal load.

12           On the transportation side of the house, we've  
13 attempted to bound those impacts by on the upper side using  
14 our legal weight trucks, and--to the maximum extent possible,  
15 there are a couple of exceptions we need to recognize. And  
16 on the lower side, on the rail, intermodal implementing  
17 alternatives in the state of Nevada, we have a few more  
18 scenarios because there isn't, as we mentioned before, a rail  
19 line that goes all the way to the site, and we need to look  
20 at potential impacts there as well.

21           And again, completing the picture was the  
22 evaluation of the spent nuclear fuel packaging options;  
23 again, trying to bound it from all the fuel coming in  
24 uncanistered versus canistered.

25           But this is the picture that the presentation has

1 been attempting to describe.

2           In conclusion, our analyses to date show that the  
3 combination of implementing alternatives that we've  
4 described, together with the packaging options and the  
5 transportation options, produces a full range of reasonably  
6 foreseeable environmental impacts.

7           However, and "however" are always in these  
8 discussions, we do need to recognize the need to continue to  
9 assess the potential impacts of engineered design features on  
10 this construct. And, as I mentioned at the beginning of this  
11 presentation, Lee Morton will be providing you with the  
12 information on how we're doing that and what we're doing and  
13 how that will tie into the environmental impact statement.

14         MORTON: Once again, my name is Lee Morton. I'm with  
15 the M&O here. I want to talk to you real briefly about how  
16 the EIS is going about incorporating the design related  
17 features that we've been talking about most of today and how  
18 we're going to address that within the EIS.

19           The list that was presented earlier is the same  
20 list that we're going to be using in EIS. We're going to  
21 remain constant with them. We're tracking with them as  
22 closely as we can to make sure that we continue to maintain  
23 the correct list. I'm not going to go through all these  
24 options and features. These are the same lists that Mike  
25 Voegele presented at the beginning of the day, and this it

1 the same list that's being picked up for the EIS, design  
2 features in a couple of different categories, and then the  
3 project design alternatives which are the combination  
4 features. These are the same things that we're doing.

5           The EIS continues to study design features, in  
6 addition to implementing alternatives. As Wendy explained  
7 earlier, this is important to us and we're looking at not  
8 only project design alternatives, but we're looking at those  
9 things that are coming out of, for instance, the Board  
10 concerns, any engineering enhancements that might get picked  
11 up at a later date. We're also looking at potential  
12 mitigations to environmental impacts. We look at these  
13 because they're important to insure that the current EIS  
14 construct, the implementing alternatives with the options, is  
15 a correct construct; that it reasonably represents the full  
16 range of impacts. We are not looking at these features for  
17 the purposes of selecting design details as a function of the  
18 EIS, but it does provide decision makers information for the  
19 environmental side of these issues. We are not looking at  
20 using these as EIS alternatives. We do recognize significant  
21 environmental impacts of a design feature are not enveloped  
22 by this EIS analysis. The EIS construct may need to be  
23 changed. If we find something outside of what Wendy's ball  
24 that she showed you earlier, we have to go back and fix  
25 something in the EIS.

1           The process that we're following. We're basing  
2 everything off of the reference design, started out with an  
3 areal mass load even 85 MTHM/acre. This is our high-thermal  
4 load. We've added to that. We've added two additional  
5 thermal loads, areal mass loadings of intermediate and low-  
6 thermal load. Intermediate is represented by a point load of  
7 60 MTHM/acre and low-thermal load is represented by the 25  
8 MTHM/acre. We are evaluating engineering alternatives/  
9 enhancements features--again, we have the same language  
10 problem that everybody else has--in context of the reference  
11 design; what do they change off of the reference design to  
12 determine whether thermal loads envelope the operating  
13 conditions and potential long-term impacts? We also  
14 recognize if these alternatives or enhancements offer  
15 significant improvements for the project, there is a  
16 potential that they may be added as time goes on to the  
17 reference design and they will be picked up in the EIS if  
18 that occurs.

19           The process that we're following. We're going  
20 through and gathering data on each one of these features.  
21 The first one is to get a good, strong definition of what  
22 that design feature represents. We also need to understand  
23 why is the program considering this feature and develop a  
24 qualitative or quantitative description of the benefit to the  
25 program. From there, we will look at the expected changes to

1 both short-term and long-term environmental impacts if the  
2 program was to place this feature into the program. From  
3 that, we will make a judgment on whether or not we need to do  
4 a continued study in the EIS.

5           Now, I brought two examples of our preliminary  
6 assessment to date on these, and I know that it's probably  
7 real difficult to read from there where you're sitting. I'm  
8 trying to follow everybody else's course and you've got to  
9 put up some real complex stuff. The first one that we're  
10 going to put up here is a--again, I want to stress  
11 continuously that this is preliminary. Jean Younker  
12 explained to you how they are going through their process,  
13 that they hope to have their report available next May.  
14 We're going to track along with that and continue to update  
15 our information for incorporation into the EIS as we go.  
16 When we issue the draft EIS, it will contain the best  
17 available information at that time and, as the program  
18 continues to evolve this information, we'll update it for the  
19 final, as necessary.

20           Waste package corrosion resistant materials. This  
21 feature involves the use of alternative waste package  
22 resistant materials that might provide enhanced long-term  
23 performance for the waste package. Related to the EIS from a  
24 short-term operational impact type of consideration, we look  
25 at surface, we look at subsurface, and we look at waste

1 package.

2           From a surface point of view, we recognize that the  
3 waste handling building may need to be modified to seal  
4 packages constructed of these new materials. We don't  
5 currently foresee that any of these new materials would  
6 represent a significant technological advance and/or change  
7 to the environmental impacts that are currently governed by  
8 the existing waste package. So, we think that our current  
9 reference design adequately covers this issue.

10           Subsurface considerations. We don't expect to see  
11 operation or design of the subsurface changed just by adding  
12 a change in the design of the waste package corrosion  
13 material. Once again, waste package not expected to result  
14 in significant changes to the concept of the waste package  
15 design, only to the materials of the waste package. If a  
16 material is selected for this analysis that represents a  
17 significant burden on the world supply of a material, we will  
18 pick up that analysis in EIS. But, in general, we're not  
19 talking about any important things here.

20           Long-term performance consideration. There might  
21 be some improvement to performance from changing the  
22 corrosion resistant materials. We recognize that any such  
23 improvements are still to be quantified and we're going to be  
24 tracking to quantify those, but we believe that any  
25 improvements will be bounded with the EIS analysis or the

1 reference waste package. Again, we don't think that we're  
2 going to incorporate this if it makes performance worse.  
3 We've bounded it on the high end on what our worst--I don't  
4 want to use the term "worst case"--what our performance  
5 should be. This would just enhance the performance, shift  
6 the release curve to the right in time.

7           Conclusions relative to waste package corrosion  
8 resistant materials. At this preliminary stage, we don't see  
9 any issues that concern us in relationship to our belief that  
10 our construct adequately bounds this design feature.

11           The second one I want to talk real briefly about is  
12 pre-closure ventilation. We talked a little bit earlier  
13 about pre-closure ventilation. This is providing continuous  
14 ventilation through the waste emplacement drift to help keep  
15 the temperatures down. The intent here is you can keep the  
16 temperatures down, that affects corrosion, it affects  
17 moisture in the tunnel.

18           Short-term performance considerations relative to  
19 the EIS. Obviously, we'd have to add some additional  
20 ventilation capacity on the surface. We understand by doing  
21 the difference between high-thermal load and a low-thermal  
22 load in the EIS what the difference of adding additional  
23 ventilation shafts already is. So, we know what that delta  
24 impact is, so we understand what those impacts might be.

25           From a subsurface consideration, as Mike showed you

1 earlier, it does change the underground layout represented by  
2 the need for additional drifting. We understand how much  
3 additional drifting might be required by looking at the  
4 difference between the high-thermal load which requires a  
5 lower amount of drifting, then a low-thermal load where we  
6 end up having to do extensive drifting. We understand the  
7 differences in the delta of impact from the difference in  
8 drifting.

9           Waste package considerations. Directly, this  
10 doesn't affect the waste package design.

11           Long-term performance, again all this needs to be  
12 quantified, but the removal of the heat and moisture through  
13 ventilation may result in a shift to the impacts off to the  
14 right in time to a later date, but again we feel that the way  
15 we construct our EIS, that's adequately bounded within the  
16 EIS.

17           Once again, the conclusions are that the EIS  
18 adequately bounds this design feature.

19           Now, we're gone through all of the list on a very  
20 preliminary basis today and we're going to continue to track  
21 along and participate in the other studies. What tools are  
22 we using to do this? The sensitivity studies that were being  
23 performed from VA and beyond, the currently planned FY-99  
24 study that Jean Younker's people will be heading up. We  
25 continue to hold qualitative discussions and workshops with

1 project scientists and engineers who we can understand not  
2 only what is a change to a physical design, but what is a  
3 change to potentially operational type of aspects. And,  
4 we're reviewing historical project records to see if what's  
5 been studied in the past related to these.

6           Once we have this done, how do we integrate this  
7 into the EIS? We've got two points of integration. We've  
8 got to get it into the draft EIS, we've got to again get it  
9 into the final. We'll use the best available information  
10 possible at the time of the draft because they're studies are  
11 running a little bit later than what our timing is in order  
12 to get the thing through review cycles.

13           But, we do plan on creating several reference  
14 documents to support the EIS, the first one being an analysis  
15 of the design features, the continued accumulation of these  
16 discussions that I just went over again affecting all  
17 features. We're also going to develop a document called the  
18 evolution of the reference design which will be available as  
19 a reference to the EIS. This will describe the historical  
20 basis of how the project reached the level in the reference  
21 design; whereas, the other document describes those other  
22 things that are still being considered by the project.

23           Depending on the design feature, these things can  
24 be incorporated into the EIS in a number of locations. They  
25 could be included in a discussion of responsible opposing

1 views. Those are views from outside the agency that the  
2 Department is or is not currently considering. They could be  
3 included under mitigations which are possible performance  
4 improvers to known potential impacts or they could be  
5 included as part of a description of proposed action in  
6 implementing alternatives. We haven't locked in on each one  
7 of these features where they're going to be plugged into the  
8 EIS. That still needs to be determined based on the results  
9 of the studies that we're going to be conducting.

10 In closing and this comes back off what Wendy said  
11 earlier, thermal load implementing alternatives and  
12 transportation and packaging options were selected to ensure  
13 that a full range of reasonably foreseeable environmental  
14 impacts are considered. The additional analysis of design  
15 features is important to validate this statement and validate  
16 that we chose the right construct. Once again, if  
17 significant environmental impacts of a design feature are  
18 identified, we will attempt to go back, as necessary, and fix  
19 the EIS so that we are indeed bounding and we have all that  
20 information for the decision maker.

21 COHON: Thank you. Questions? Debra Knopman?

22 KNOPMAN: I'm interested in the--it's just really a two-  
23 way street that you've got going here between the EIS  
24 analysis and the alternative design and conceptual  
25 alternative features and alternative conceptual design

1 process going on as part of consideration or moving toward an  
2 LA design. The list of preliminary evaluation criteria that  
3 Jean Younker presented in her talk did not identify EIS or  
4 environmental impacts as among the evaluation criteria for  
5 alternatives. There's the mention of improving safety, ease  
6 of licensing, schedule performance, cost, flexibility to  
7 adapt to new information, but environmental impact in a broad  
8 sense is not included in this evaluation criteria. So, I'm  
9 wondering how the information generated in Wendy's activities  
10 feed back into the alternative design analysis.

11 DIXON: I think, as Jean said in her presentation, that  
12 that was a partial list and fairly quickly put together for  
13 the presentation. It is a partial list. We have talked to  
14 Mike Voegele and the environmental impacts will be included  
15 as part of what they will do. It was not on the chart this  
16 morning, but it will end up being that.

17 KNOPMAN: So that means in terms of scheduling, you've  
18 got to stay up with, keep pace with what's going on with  
19 Jean's schedule of evaluating alternatives. They need to  
20 come to some closure on that by May of next year if I wrote  
21 that down correctly. May '99 was the time that you want to  
22 have your decision made so you've got to be in a position to  
23 feed into that.

24 DIXON: We're working, as Lee was saying, lockstep with  
25 what they're doing. We have done our initial evaluations,

1 and as they go back and they presented to you that between  
2 now and May they're going to be doing additional sensitivity  
3 analyses and studies, we will be tied into and tracking those  
4 together. So, this is not problematic. This is a good  
5 thing.

6       KNOPMAN: No, I'm happy to see the coordination. I just  
7 wanted to make sure it was a fact that you were going to be  
8 feeding into their effort.

9       DIXON: Yes.

10       CHRISTENSEN: First of all, thank you. I think I  
11 understand better than I have in any previous presentation,  
12 first of all, the rationale for the thermal loading and also  
13 a bit more about the alternatives for some of the other  
14 issues. The one thing you didn't refer to and I just want to  
15 be sure that it remains either the same or that I understand  
16 the rationale for it is the no-action alternative in the EIS.  
17 Does it remain the same as you presented it in January and  
18 could you just say a little bit about that?

19       DIXON: The reason why I didn't discuss the no-action  
20 analysis in today's presentation was it was--the topic is  
21 really the thermal load implementing alternatives and I  
22 wanted to make sure everyone walked away with a good feeling  
23 on this. So, it was really focus for that reason alone. As  
24 we speak today, we're still out where we were before. We're  
25 in preliminary stage of this EIS. So, I can't confirm to you

1 on anything that we're presenting at this stage of the game  
2 that things won't change, but at this point in time, I cannot  
3 tell you that there has been any changes because there  
4 haven't been. So, you're pretty much up to speed from the  
5 over-arching approach from where we left it, and again if  
6 things do change, we'll make sure that you know; not just on  
7 that, but on any other part of the analyses that we're doing.

8 CHRISTENSEN: Let me ask just one additional question on  
9 that. What will be the basis for choice of a no-action  
10 alternative? Is there something embedded either in the  
11 legislation or in current policy that will--it seems to me,  
12 first of all, I think you might agree that there's sort of an  
13 infinite range of choices that have to do with what might  
14 constitute a no-action alternative, each of which have an  
15 entirely different set of technical ramifications. Is there  
16 something that will provide the guidance for deciding exactly  
17 what to focus on?

18 DIXON: If you're asking for that magic decoder ring  
19 that gives us the answer, I wish it were quite that clear  
20 because you could set up and argue that you didn't have to  
21 deal with no-action, at all, because the road map, you could  
22 argue, did because it's in the CEQ regulations. You can  
23 argue that it needed to be equal with and provide an  
24 appropriate baseline tied to the status quo. You could argue  
25 that 10,000 years is speculative. I could argue 10,000 years

1 is speculative for the repository. There isn't a magic  
2 answer in a book that you can turn to and say, you know, here  
3 is the ultimate answer. There's probably, as you said,  
4 different ways to approach the problem with defenses for all  
5 of them. In the end, as is legally the most defensible  
6 position, has not yet been tried.

7 CHRISTENSEN: So, I guess in a sense you're answering my  
8 question and saying that legal defensibility really may be  
9 the baseline for selecting--

10 DIXON: It is certainly an incredibly important  
11 decision, yes.

12 CHRISTENSEN: Yeah.

13 CRAIG: I want to pick up on a seemingly small point,  
14 but one that, nevertheless, has some relevance. Wendy, on  
15 your Graph #5, you used the phrase "issues that are important  
16 to the decision maker", and then Lee also used the term  
17 "decision maker". My recollection of the origin of the  
18 Environmental Impact Statement process which I think goes  
19 back to Caldwell, as I remember it decades ago, he was  
20 interested and ever since people have been using  
21 Environmental Impact Statements in order to help the public  
22 understand issues. Now, admittedly, in our democratic  
23 society, the public is the ultimate decision maker.  
24 Nevertheless, in a document that comes from Department of  
25 Energy, decision maker tends not to be thought about that

1 way. Among other things, it seems to leave out the concept  
2 of stakeholder. So, at a minimum, I would encourage you to  
3 say stakeholders and decision makers or something along that  
4 line. That distinction, I think, is going to turn out to be  
5 quite important as you become increasingly involved in the  
6 process of communicating Yucca Mountain to the public. I  
7 think it's also going to become exceedingly important when we  
8 think about what it is going to happen to radioactive waste  
9 should the no-action alternative turn out to be, in fact,  
10 U.S. policy. So, there is a connection there, also. But, my  
11 specific point is that I picked up immediately on the usage  
12 of the word "decision maker", as you used it here, as being  
13 too constrained and I suspect others will also.

14 DIXON: Well, let me--was that a question or was that a  
15 State matter?

16 CRAIG: Only an opinion.

17 DIXON: Okay, thank you. Then, I accept it as an  
18 opinion.

19 COHON: That seems wise. Are there other questions or  
20 opinions or comments?

21 RUNNELLS: Paul offered an opportunity for me to ask a  
22 question that I've been waiting for an opportunity to ask all  
23 day. That concerns communication. Being new on the Board, I  
24 almost understand how DOE and the Board communicate. I'm  
25 getting close to understanding that. What I don't understand

1 yet is how the public communicates with DOE and who listens?  
2 As a citizen, if I wanted to have an input into a very  
3 important decision that may affect me as a citizen, what  
4 mechanism, if any, exists for my input into the decision  
5 making process of DOE? Now, I understand the formal  
6 structure of an EIS and the public input period for that. I  
7 presume that will apply here.

8 DIXON: It will and has. We started out with scoping  
9 before we initiated the process.

10 RUNNELLS: Okay. So, that part of the EIS process has  
11 been followed.

12 DIXON: Yes.

13 RUNNELLS: In a more general sense then, how does the  
14 public communicate on these important issues with DOE? What  
15 opportunity exists?

16 DIXON: You're talking outside of the EIS process?

17 RUNNELLS: I'm talking outside the EIS process and I  
18 thank Paul for introducing the subject of communication. I'd  
19 like to talk about it generally.

20 DIXON: Lake, do you want to take that one or do you  
21 want me to take it?

22 BARRETT: Okay. An important part of the program is to  
23 have the public understand what we're doing, the societal  
24 choices that are being made by their elected representatives  
25 in the process, and they're invited in through, say, the

1 formal EIS process. There will be public hearings, etcetera,  
2 in the EIS process. Now, that is necessary, but probably  
3 insufficient for the endeavor that lies before us in this  
4 matter. This was understood in the statute back in 1982 when  
5 they discussed this, and there are words in the statute about  
6 public information being provided by the Department to the  
7 general public.

8           Also, monies were provided--and a complicated  
9 issue--but to the State of Nevada and to the counties, to  
10 affected governments, which the counties are affected  
11 governments, to keep citizens informed. Maybe, most involved  
12 in this, for example, are citizens of Nevada. This has been  
13 a complicated issue of much debate in Congress, but  
14 nonetheless, it is in the statute and we've asked for that  
15 money to be given. So, that happens with the States and  
16 affected counties.

17           Also, we've maintained a public information center  
18 here in Las Vegas working with the state and local  
19 governments and trying to get information out. We'd like to  
20 really do more in the area, but you know, with the  
21 constraints in the budget, we've had to focus on the most  
22 vital parts, you know, on the science. But, we still try to  
23 maintain that at a level that I'm proud of. You know, get  
24 things out to the people and try to get not in a marketing  
25 sense, but to get real information out that people can use.

1           Also, we will have in the Act that says that we  
2 will have in the site suitability decision and the  
3 recommendation, there will be public hearings in Nevada. We  
4 are going to put those together when it comes time. It's not  
5 time for that yet, but we will do that and we will try to do  
6 that in the spirit of the law and try to make sure that is  
7 done very well.

8           We also have been refining our communication skills  
9 internally to try to be able to communicate on what does the  
10 VA mean to all different audiences which range from PTAs--we  
11 have a speakers' bureau that we use for that type of thing--  
12 Chamber of Commerces, and any group that would like to hear  
13 from us, as well as through the formal presentations. We  
14 have formulated a communications working group that reports  
15 to me to try to work on that. We are bringing in a risk  
16 assessment communicating specialist that I know our staff has  
17 talked to your staff on as a recommendation, I believe, from  
18 the Board back some time ago. We have a nationally renowned  
19 person coming that is going to teach us all how to try to  
20 communicate these conflict issues to the public, as well as  
21 to policy makers. So, basically, those who will be on the  
22 front line are going to take that course. I'm going to take  
23 it plus Mike Voegele is going to be there. We are trying to  
24 prepare ourselves to be able to communicate so that we  
25 connect through the receiver and the receiver can be the

1 grandmothers and the receiver can be a scientific community  
2 that can be as sophisticated as the Board.

3           So, we are working to try to communicate this in an  
4 objective non-biased manner so people can understand what we  
5 are about and what the societal choices are, what the impacts  
6 are, both good and bad, of various decisions that are from  
7 this. And, the no-action alternative will be one of those  
8 that we will need to communicate in the process that goes  
9 forward under the EIS.

10           So, we're working on it. It's difficult because  
11 we're dealing with fairly complex matters that go to what  
12 does the average citizen understand about a million years  
13 versus whatever. That's very hard to do. I mean, a very  
14 effective ad was run a few years ago, I believe, by some of  
15 the--I don't know if it was Greenpeace or somebody that is  
16 was all the generations--you know, how long plutonium in a  
17 24,000 year half-life, how long 24,000 years was in half-  
18 lives. I mean, it was generation, generations, and a whole  
19 page of paper, a very effective communication. You can  
20 communicate fear very effectively. It is very difficult to  
21 communicate the whole story, okay, and we are working on it.  
22 I certainly would appreciate any views the Board might have  
23 as to how the establishment, let me say, and I will include  
24 that Board in that, as well, how do we communicate to our  
25 citizens who we all serve to what we're about.

1           RUNNELLS: Thank you, that helps. But, you talked, Mr.  
2 Lake, about how DOE communicates with the public. Part of my  
3 question was how does the public communicate with DOE? Now,  
4 certainly, the public hearings that will go with the EIS and  
5 the period of public comment will help, but those are  
6 attached to the EIS process.

7           BARRETT: Dr. Dyer is going to help me out here at the  
8 microphone.

9           DYER: Thank you. Exactly, communications works two  
10 ways; information goes out, information comes back. Trying  
11 to find venues forums that are effective means of getting  
12 communications in is very difficult. One of the ways that  
13 seems to be effective right now is the electronic media. If  
14 you to go our home page, it's possible to send in comments to  
15 DOE through the home page through e-mail and get a response  
16 back within days. It gets routed to an appropriate  
17 individual who considers the comment or question and responds  
18 to the commenter. If it is a potentially significant  
19 comment, it gets elevated to the appropriate level.  
20 Information that comes in the written letter gets the same  
21 individual response back.

22           RUNNELLS: Thank you.

23           WONG: Easy question. Ecosystem impacts, can you give  
24 some comments as to what you intend to cover in ecosystem  
25 impacts? Is it just going to be those things that crawl in

1 on the surface or are you going to consider environmental  
2 compartments that are below the surface? I'm specifically  
3 interested in will the EIS deal with the degradation of the  
4 groundwater basin between 20 kilometers and away to the  
5 repository?

6         DIXON: We are definitely focusing a lot of our analysis  
7 as it relates to impacts on the surface, you know, the amount  
8 of land disturbed, what will you lose, what are the species,  
9 is there anything there that is endangered or sensitive or  
10 whatever the case might be. With respect to the latter part  
11 of your question, the analysis will certainly look at whether  
12 or not--and that ties to long-term performance and other  
13 impacts as they go out. You know, we would address, as an  
14 example, could there potentially be a problem at Devil's Hole  
15 or Ash Meadows or whatever the case might be, and those  
16 analyses will tie to the understanding that we get from the  
17 science side of the house as to whether or not there is a  
18 potential connection and whether or not there could be a  
19 release, and if there was a release, how big would it be?  
20 So, yes, they will be included from that perspective.

21         COHON: Any further questions or comments?

22         (No response.)

23         COHON: Thank you both.

24                 We turn now to an update on the Nye County Early  
25 Warning Drilling Program and also a presentation on

1 alternative repository design. This will be presented by  
2 Nick Stellavato with the assistance of Parviz Montazer.

3 Mr. Stellavato?

4 STELLAVATO: Let me confirm the rumor that Nye County  
5 has developed a drilling program and this program is  
6 downgradient of Yucca Mountain and is called the Early  
7 Warning Drilling program called EWDP; we've got our acronym.  
8 Les Bradshaw who was the manager of the Nuclear Waste Office  
9 and I talked about this program in '94, but we didn't propose  
10 anything at that time. We wanted to see how much data was  
11 going to be taken because one of our major concerns for Yucca  
12 Mountain was the amount of scientific data being collected to  
13 go into the models.

14 So, the last year, we decided we'd propose this  
15 program again and this is also a joint effort of Inyo County,  
16 California. This program is a series of 21 wells. And, a  
17 quick update where we are, we've been in the field and we've  
18 got many inputs in this program. Believe me, when someone  
19 sees someone drill the well downgradient of Yucca Mountain,  
20 we get all the input we ever needed. So, we've got input  
21 from a wide range of project and associated project people.  
22 So, we've used that to evaluate where we wanted to locate our  
23 wells, along with Parviz and Tom Bugo who are hydrology  
24 consultants who were looking at our modeling and evaluating  
25 the Yucca Mountain model, the regional model, and the NTS

1 model. So, we developed this program based on their input,  
2 also.

3           Right now, we've located eight wells. We staked  
4 those wells in the field and with use of the GPS--with Jim  
5 Pace's USGS GPS unit which we'll have and we located those  
6 wells with the GPS. We've also included a well called the  
7 Washburn Well and I'll show you the location on a map in a  
8 minute. This well is an old 1958 water well drilled by  
9 someone who was going to try to move in there and lay a re-  
10 entry and create a farm. The reason we included this,  
11 because this well went to 815 feet and didn't hit water.  
12 When I show the location, it's a normally--because just to  
13 the southeast of there towards Cowboy Joe's at Lathrop Wells  
14 and the brothel, they have allowed 300 feet to water. So, we  
15 can't understand why it's 800 feet. We're going to clean  
16 this well out if we can, go back in, re-enter, and see where  
17 the water is.

18           We also are going to complete the Felderhoff 25-1  
19 well. That well was drilled a couple of years ago. It's an  
20 oil and gas test south of I-95 into the deep carbonate. So,  
21 you have two deep carbonate wells right now; P-1 at Yucca  
22 Mountain and then the 25-1 well. Then, the last one, I'll  
23 show you in a minute, we located an 8S well. We have since  
24 moved that well over and I'll show you the location and we  
25 call it 8D.

1           This is a map I got from Jim Pace. He's USGS. He  
2 was out and he GPS'd our wells and these are locations of the  
3 first eight wells that we located in the field. You can see  
4 8S well right here. We have since moved that well--and I'll  
5 show you another map in a minute--and that well is located  
6 right in there. The first well is the 1D well and that is  
7 the paleodischarge site that we want to look at that site and  
8 then we'll core in the top part of that well and then drill  
9 down through the fault that's projected in there. Then,  
10 moving over into Fortymile Wash, we've got this 2 well, the 4  
11 well, and the 5 and these are all on the outside of the NTS  
12 boundary.

13           What we've done, we've looked at the gravity of mag  
14 and the seismic work using P-1 and the Felderhoff well and  
15 there's a major structure that runs this way and the Rock  
16 Valley Fault runs that way. We want to locate these wells in  
17 these up and downs and the major--that shows the gravity of  
18 mag up and down the seismic. So, we've located those.

19           This is a map of all the wells again. You can see  
20 here's the 1D coming across. This is on the western splay of  
21 Fortymile Wash, as you can see on the aerial photograph. It  
22 splays out here. We want one right on the western edge.  
23 Then, the 4D and the 5S. The D and S are deep and shallow.  
24 Although it turns out after we look at the gravity mag and  
25 whatever structural data that we may be able to hit

1 carbonates in many of these shallow wells because it's very  
2 shallow in certain areas and the carbonates in Felderhoff  
3 well was at 2200 feet and they were overturned. So, we're  
4 probably going to hit carbonates in most all these wells.  
5 So, that's what we're shooting for is good water wells into  
6 the alluvium, the volcanics, and then the carbonate.

7           So, this is the entire three year period. The red  
8 wells are the wells that are in already. JF-3, J-12, and J-  
9 13 for the location of Yucca Mountain, and then the other red  
10 wells here or the open circles are out year wells. But, the  
11 blue ones are the ones we're looking to evaluate and for  
12 inclusion into our drilling program starting October '99.

13           Finally, just a little bit of progress where we  
14 are. We've begun our permitting process. We're going to  
15 have to get the BLM permits and we're in the process of  
16 setting up with the BLM and setting up the permitting process  
17 with the BLM. Our testing program, we're in the process of  
18 developing that. But, we know we have the first year's wells  
19 fairly well-located. Then, we've reserved the right in the  
20 future after we do the wells this year, we can move the wells  
21 around for the next year so we can get the maximum use of our  
22 drilling program and the maximum data that we can get out of  
23 it.

24           It's an aggressive program, but it's part of our  
25 independent scientific investigation program for Nye County

1 and we want to make sure we have enough data to evaluate what  
2 goes to the license application. All this data is posted and  
3 will be posted every month on our website like we do now with  
4 all of our data that Parvis is going to talk about. So, you  
5 can get all of our datasets on our website; NyeCounty.com.  
6 All of our data is there since Day 1; we post it every month.  
7 So, that's what we'll be doing with this. But, right now,  
8 we haven't got the complete testing worked out, but we're  
9 working on it right now.

10 COHON: Should we invite questions on this part of the  
11 presentation or would you prefer that we wait? They seem to  
12 be two distinct--

13 STELLAVATO: Yeah, they are two separate. So, you can  
14 ask some questions on this and--

15 KNOPMAN: It would be helpful to us, Nick, if you could  
16 tell us a little bit about what you're going to do when you  
17 drill one of these new wells. What sort of analyses will be  
18 done? Are you going to run pump tests? What information are  
19 you going to generate and how do you intend to use it in  
20 terms of feeding into your own modeling or other regional  
21 modelings?

22 STELLAVATO: Yeah. We'll do this hole very similar to  
23 what we did in the ONC-1 well up at Yucca Mountain. That was  
24 our first well that we drilled up there. We'll be doing  
25 these with reverse circulation to the wall, very similar to

1 what we did there. We'll be taking cuttings. We'll take  
2 spot core if we need to like on the paleodischarge sites.  
3 We'll probably take the spot core in there, but mainly  
4 cuttings. Then, once we're finished with the hole, we will  
5 go in and log it with the complete suite of geophysical logs  
6 just like, you know, every other hole we've done. Then, we  
7 will do complete pump tests on these. Any details, Parvis  
8 can talk about that. We'll do the pump testing on it. We'll  
9 do the complete suite of geochemistry water samples. We're  
10 being supported depending upon funding by the--Center and  
11 Todd Stetsenbach to do his rare earth or heavy metal work.  
12 So, we have that and the isotopic work. So, we'll be getting  
13 our complete suite and the GS will be sampling these wells,  
14 also.

15       KNOPMAN: Okay. So, that establishes another question.  
16 Zell Peterman, his team will be poked into this?

17       STELLAVATO: Right. Yes, Zell Peterman and Jim Pace and  
18 them will be getting their samples, and when we do the pump  
19 tests, anybody is welcome. We'll get the samples. They can  
20 come up and get samples at the same time. These are to get  
21 the most amount of data that you can get out of these wells  
22 and not just to put them in and, you know, we'll get the data  
23 in a vacuum, no. These will be put out to anybody that wants  
24 to get some data. Once we're done with the pump testing and  
25 the wells are set, we will go in with the west phase and do

1 multiple completions so we can look at the head relationships  
2 between the carbonates, volcanics, and the alluvium because  
3 we don't know what the flow is down here. You've got a well  
4 here, here, and 13. There's nothing until you get to  
5 Powderhorn. So, that's a big void and I don't know how you  
6 can model the regional flow without knowing what happens in  
7 here. So, we will complete these so that we can see the  
8 relationships and see what happens to the flows with the  
9 carbonates, the relationship of the carbonates as you go  
10 south.

11 KNOPMAN: These are single well pump tests?

12 STELLAVATO: Single well pump tests. Some of these are  
13 located--will be close enough we can do some off the well.

14 MONTAZER: One of the wells--we haven't decided which  
15 one, but one of the wells, we're going to leave as a  
16 relatively large producing well so that we can do basically a  
17 pumping test with observation.

18 STELLAVATO: Yeah, this well right here, this 8D, we've  
19 located down here because we also have this Rock Valley Fault  
20 system. We've got somewhere around 16,000 acre feet that's  
21 coming down from the NTS side which merges in here somewhere.  
22 That's just 8D. We've got this green water rift zone that  
23 runs north-south and this truncates into it. We don't know  
24 the relationship here. We want to see what's happening at  
25 this intersection. In looking at the gravity mag data and

1 this Felderhoff 5-1 well, we've got some major structure in  
2 through here.

3       PARIZEK: Are you going to drill dry or with fluids?  
4 How do you plan to do your drilling?

5       STELLAVATO: Dry to the water and then we'll follow up  
6 and use air foam so that we can clean it up real good after  
7 we're done.

8       PARIZEK: All right. So, the chemistry won't be  
9 compromised by the drilling process?

10       STELLAVATO: Just aerate the foam so we can lift the  
11 water because we expect to get a lot of water in some of  
12 these.

13       PARIZEK: Some of these wells are definitely designed to  
14 hit the carbonate, the deep carbonate system?

15       STELLAVATO: Well, we'll try to hit it all in all of  
16 them if it's not too deep. We've located them based on the  
17 gravity mag and we may be able to locate the carbonates in  
18 most of them.

19       PARIZEK: So, by deep and shallow at this point, it's  
20 sort of informal because you may find carbonates quite  
21 shallow in which case that's a shallow well or deep well? If  
22 you hit carbonate, is that deep or shallow?

23       STELLAVATO: Well, the shallow wells are 500 to 1,000  
24 foot planned; the deep wells are 2,000 to 3,000 foot planned.  
25 With the Felderhoff carbonates at 2200 or so and D1 up here

1 heading to 5800 feet, we've got a wide range of where those  
2 carbonates are in here.

3       PARIZEK: And, the wells seem somewhat far apart and yet  
4 they're not that far apart for an artesian kind of response.  
5 So, with only one well for a long-term pumping test, you  
6 really could do more pumping tests to get regional  
7 interferences. So, how do you do this testing? You drill  
8 them, test it, go drill the next one, and test it, or are you  
9 going to do all the drilling and then plan how to do your  
10 testing?

11       STELLAVATO: Do a lot of drilling and--and we'll have  
12 the plan done. We'll do a lot of drilling and then do the  
13 pump testing. And, also, remember, we have 700 wells sitting  
14 right down in here that we can make use of also. When they  
15 go in as far as part of irrigating the fields, they'll pump  
16 it into those wells at 1200 or 1500 gallons a minute. You  
17 know, we're also going to be looking at the effect on  
18 neighboring wells down here in Amargosa as part of our  
19 program, too. So, we've got 700 wells here, zero wells up  
20 here, and then, remember now, we'll drill seven holes the  
21 first year. We have the right to go back in and move some of  
22 these wells if we need to. If the data need shows that we--  
23 and Parvis says modeling thinks that we need to move some of  
24 these wells, we can move them.

25       PARIZEK: If you pace off alluvium and then you go into,

1 say, volcanic rocks and then hit carbonate rocks, are you  
2 going to leave the hole open to both volcanic rocks and  
3 carbonate rocks to get mixing in which case the chemistry is  
4 goofed up?

5         STELLAVATO: No, that's one of the things we want to  
6 eliminate. We want to pump from specific zones. So, we'll  
7 go in there with a company that does packer straddle tests  
8 and we'll straddle off all these zones so we can see the  
9 chemistry in the specific zones because when we complete them  
10 for the long term, we're going to complete five to 10  
11 completions per well so we can look at the specific heads and  
12 the chemistries in the specific zones. Right now, everything  
13 you have is pump positive well heads up here and I don't  
14 think composite heads will get it. I'd like to see specific  
15 zones.

16         PARIZEK: Well, the Westbay is the only act in town that  
17 will be very detailed in this respect for both sampling, as  
18 well as for distribution. You can pick the spacing that you  
19 intend to complete Westbay's at and what sort of spacings are  
20 you thinking about vertical separations for port locations?

21         STELLAVATO: Well, right now, I don't know. Parvis--

22         PARIZEK: They won't sell you as many as you would like.

23         STELLAVATO: We've got 17 packers in one well, right  
24 now.

25         PARIZEK: Westbay is permanent installation which once

1 you have it in, you can decide what the port spacing should  
2 be.

3       MONTAZER: Presently, we're planning to put 10 intervals  
4 in the deep holes and five intervals in the shallow holes,  
5 but that's a general thing for planning purposes. The first  
6 year is going to be basically learning the hydrogeology. We  
7 don't know anything about the hydrogeology. We don't even  
8 know the geology of that area. So, the first year is going  
9 to be a learning experience, and then based on that, we're  
10 going to have to plan in detail what we're going to do in the  
11 second and third year.

12       PARIZEK: You have some geophysics that suggest that  
13 there's a fault zone up along the paleospring deposit. So,  
14 this is a test on the geophysics, as well, then.

15       MONTAZER: That's correct.

16       PARIZEK: It's a multi-purpose study that you have  
17 going?

18       MONTAZER: That's correct.

19       STELLAVATO: Yeah, we can calibrate the geophysics and  
20 the gravity of mag with these holes once we get them in the  
21 ground. Right now, you've only got the geomag calibrated on  
22 P-1 and I don't think everybody even did that. So, we're  
23 calibrating on P-1 and the Felderhoff well right now and then  
24 we'll go in, and when we drill these wells, we can confirm  
25 and then recalibrate based on when we get the tops on all the

1 units as we drill each one of these wells. That will help  
2 calibrate the gravity of mag data.

3 COHON: Any other questions or comments on this phase of  
4 the presentation?

5 (No response.)

6 COHON: Let's proceed to the next phase, then. Thank  
7 you.

8 MONTAZER: Thank you, Dr. Cohon.

9 We have talked about the alternative repository  
10 design and Nye County's interest is mainly the naturally  
11 ventilated repository for a variety of reasons that I'm going  
12 to be going through.

13 One of the things that I have come across when  
14 we're talking about the natural ventilated repository and how  
15 this really affects or helps the removal of the heat and  
16 moisture, a lot of people don't realize that there's really  
17 not that much heat generated by the canister, by the waste.  
18 Just in this room, we'd probably be generating about 3,000  
19 watts of heat from just the lighting. And, each one of these  
20 canisters generate about 8,000 watts of heat.

21 If you go down to the ESF, if you have ever been  
22 down there, you see that every about 15 meters or so we have  
23 these 500 watt flood lamps. We experienced this accidentally  
24 when we had our long-term monitoring of the temperature,  
25 pressure, and humidity. One of these flood lamps was located

1 about two or three feet from one of the probes and I didn't  
2 know that this was going on. When I got the data, I looked  
3 at them and it appeared that during the week when the  
4 ventilation was going on, things were relatively normal; the  
5 temperature, pressure, humidity, everything was normal. But,  
6 over the weekend when they shut down the ventilation, the  
7 temperature went way up in one of the probes. So, I sent the  
8 technicians out there to figure out what's going on. We  
9 realized that there was a flood lamp that was sitting about  
10 two or three feet away from this. The ventilation that used  
11 to go on in the ESF construction generated about one meter  
12 per second of air and that was enough to move the amount of  
13 heat to keep basically the heat away from the instruments.  
14 What I'm trying to get at is there's a tremendous amount of  
15 heat that can be removed by just moving the air through an  
16 open area.

17           First, I'd like to update you on more recent data  
18 collection activities. In the east-west drift, we're doing  
19 monitoring at different locations in the tunnel. This is a  
20 17-1/2 foot diameter tunnel, and we have purposely put these  
21 in spacial position to see how the temperature, pressure, and  
22 the air velocity varies between these three locations. The  
23 main purpose of this separation is to come up with a way of  
24 calculating the heat and mass transfer in between these three  
25 ports and basically calibrating our model and coming up with

1 a way of coming up with the parameters that we need to do  
2 long-term predictions.

3           This just shows the temperature over time in the  
4 east-west drift. I should have pointed out what it says is  
5 number one is closest to the wall of the tunnel, number two  
6 is NVP, number three is the one that was hanging below the  
7 ventilation duct. As you might expect, you see that near the  
8 rock is cooler because evaporative cooling keeps the  
9 temperature down. As you're going a little bit away from the  
10 rock, the temperature is, more or less, the same. You can  
11 see a similar pattern in the humidity. Humidity near the  
12 rock is--Port 1 is higher because the moisture is coming out  
13 of the rock and keeps the areas slightly more humid. And, as  
14 you go into the tunnel, that humidity is basically, more or  
15 less, the same. The air velocity varies in the east-west  
16 tunnel between one and one and a half meters. If you have  
17 these fluctuations, you can expect, but the general average  
18 is 1.25 meters per second. That's with the ventilation.

19           One of the interesting things that we have observed  
20 is we've been trying to get into the first couple of moisture  
21 probes that have used TDRs to see if we can detect the  
22 moisture changes in the rock. It takes about a week or two  
23 when the tunnel boring machine advances and cuts through a  
24 portion of the rock. It takes us about a couple of weeks to  
25 get to that point to drill a hole and put our instruments and

1 set up for the pressure, temperature, and humidity and the  
2 rock moisture monitoring. We have not been successful to  
3 catch the rock that is wet enough for us to monitor. That is  
4 in two weeks and these probes average the moisture for about  
5 two feet length of the borehole. We especially are saying  
6 that in two weeks the rock dries out all the way to about two  
7 feet away. We've not been able to get fluid enough to follow  
8 the moistures. As you see, we put in the probes wet. The  
9 boreholes are silica flour which is wet and it dries up  
10 pretty quickly, relatively quickly, and comes up to where it  
11 basically is residual moisture content.

12           We've done a similar thing in the ESF just for  
13 comparison. I'm not going to go into details. Going  
14 directly to the naturally ventilated repository, why do we  
15 think that naturally ventilated repository or forced  
16 ventilated repository if that turned out turns out to be the  
17 case? The only difference really is that a naturally  
18 ventilated repository is more economical to operate and you  
19 can run it for a much longer period of time.

20           The heat in the canisters are a resource and we  
21 believe that they should be used advantageously. For the  
22 past 10 or 15 years, the heat generated by the canisters has  
23 really been an adverse or a disadvantage with this type of  
24 waste. I believe that we can take advantage of that heat and  
25 create a condition that is safer for the repository. The

1 cooling basically comes in from the flow of the air. Aside  
2 from that, the evaporation from the rock, the air is falling  
3 and there is tremendous amount of evaporation. We have  
4 measured anywhere from 10 to 15,000 gallons a day from a  
5 small portion to like about 1,000 meters of length of the  
6 tunnel. So, there's a tremendous amount of moisture that is  
7 removed initially from the rock. That causes a great amount  
8 of cooling, just evaporative cooling, in the rock. So, it  
9 lowers the rock temperature and also assists cooling of the  
10 canisters.

11           The heat of the canisters help move the air if we  
12 create a situation that we have an inlet and outlet with a  
13 significant amount of elevation difference. That's why you  
14 would need shaft to create the elevation difference from the  
15 inlet which, I'm assuming, that it would be the ESF entrance  
16 and some shafts on the west side of the mountain that would  
17 allow for the air to move out. Even without the heat of the  
18 repository, we'll have the natural ventilation occurring.  
19 The only difference is that without the heat, the direction  
20 of the flow is not guaranteed, but using the heat and taking  
21 advantage of it, we can guarantee that the direction is  
22 always upward.

23           This moving of the air creates a dryer repository  
24 and I'll show you some simulations. We have done some  
25 simplified simulations. We're doing more sophisticated

1 simulations using the UZ model--I'll get into that--to create  
2 a dry repository. And, that can be maintained for--I mean,  
3 the drying effect can be continued for at least 1,000 years,  
4 if not longer.

5           The economic advantages of it is that it reduces  
6 the aqueous requirement tremendously. And, what I have  
7 calculated, if the model and everything is correct, I think  
8 we can reduce it by--basically, all we need is core because,  
9 number one, it is an advantage to focus the heat into a  
10 smaller area that will create a larger ventilation force.  
11 Basically, it means that we need less construction, less area  
12 to worry about, and we can pick the best part of the mountain  
13 to put this stuff in. It gives us a lot more choice as to  
14 where to put the canisters.

15           As far as performance assessment, I think this is  
16 extremely important. It reduces uncertainty and I'll go  
17 through it in a little bit. The concerns are long-term  
18 stability of the repository. Human intrusion has been  
19 mentioned several times and atmospheric emission of the gases  
20 and particulates is also a concern. I'll touch upon these  
21 things in a little bit.

22           Before I go to that, I'll show you what we're doing  
23 with the model. We have obtained the input from the UZ site  
24 model from Lawrence Berkeley Lab and this is actually--there  
25 are several versions of it. This is a dual porosity model

1 with the matrix and fracture discretized. Just for location  
2 purposes, this is UZ-14 and ONC-1 and this is ST-7. Right  
3 now, we are just simulating the ESF with a shaft down in  
4 here. I'm not showing the shaft. We're bit simulating this  
5 east-west drift. The reason for this thing, I'll talk about  
6 it a little bit later. It's something that I have in mind to  
7 propose. Hopefully, DOE can accommodate that sometime in the  
8 future in their plan to test.

9           One of the surprising things that I got was that  
10 the results of the--the results that I got from the site  
11 model are almost identical with the results that I got from  
12 just doing a simple cylindrical simulation. In this case, we  
13 even have a 4mm/yr infiltration which was originally the  
14 model that the LBL sent us. It had a 4mm/yr infiltration in  
15 it. I've taken that out and it doesn't make any difference  
16 in the result of--it's not even noticeable. So, at least, at  
17 4mm/yr, we see no significant difference as far as this  
18 saturation profile.

19           Here, I apologize for this. We're going from .2 to  
20 .8; .2, .3, every .1, and you can see this is the ESF tunnel.  
21 The initial saturation that I assigned was 80 percent to all  
22 the Topopah Spring and this is basically at the repository  
23 level. You see that the saturation drops down in the  
24 vicinity of the ESF down to about .3 from .8 which is the  
25 ambient condition. That's after 1,000 years. The extent of

1 it is somewhere about 30 meters or so away from there.

2           So, at least, the model shows--and there's a lot of  
3 other things. By the way, in this instance, I have placed  
4 the canisters, the heat sources, in the ESF which is not  
5 necessarily a design option. I was just doing the  
6 experiment. Our next step is we're trying to set up a small  
7 area of the repository in this with shafts on the west side  
8 of the mountain and see if we can calculate the conditions  
9 over in that area.

10           I've already touched upon the advantages of  
11 reducing acreage. The uncertainty, I think, as we've talked  
12 about it a lot and we've heard about it a lot in today's  
13 presentations, the problem that I see is that we have--  
14 there's a lot of great ideas and technology that we're trying  
15 to get to and use and experiment. The problem I'm seeing is  
16 we really don't have a lot of experience and background and  
17 historical information and data on developing a good  
18 confidence whether these things are going to really perform  
19 for 1,000 years or 10,000 years. The effect of heat and  
20 humidity on the rock at high temperatures, we really, aside  
21 from a few analogs which are really--we don't know very much  
22 about their true nature--we cannot really put a lot of  
23 confidence in how these things are performing. All we have--  
24 we don't have a data to calibrate these models, as far as the  
25 effect of heat on the rock and the corrosion processes are

1 concerned.

2           By using ventilation, we'll bring everything back  
3 to the ambient, normal conditions where we have a lot of data  
4 on. All we have to do is go back to the historical, the  
5 Egyptians and the Romans and the Greek and the Persians and  
6 look at how their swords, etcetera, have lasted. You don't  
7 find very many swords intact in Rome because of the wetter  
8 climate. But, in Egypt, there are plenty of intact artifacts  
9 and weapons you can find in their museums.

10           One of the things that I have a problem with is the  
11 concrete liners that are going to add a great deal of  
12 uncertainty as far as geochemistry is concerned. How is this  
13 going to react with the rock over a long period of time? How  
14 is it going to affect the transport processes? In the  
15 naturally ventilated repository, the concrete liners are  
16 actually not required. It is better not to have them because  
17 we want to have an open interaction between the tunnel and  
18 the rock. The rock is fractured and open and we've got to  
19 take advantage of it. The reason I'm seeing this both in the  
20 data and in the model, the extent of the drying and the heat  
21 removal is because of the fractured nature of the rock. If I  
22 just use a matrix flow, this is not going to happen. The  
23 matrix is too tight to allow either heat or moisture to come  
24 into the tunnel. It's through the fracture interaction and  
25 network that we can remove a lot of the moisture. Therefore,

1 it's advantageous to leave as much of the repository surface  
2 as open to interact with the tunnel or inside the area of the  
3 tunnel.

4           As far as the concerns are concerned, long-term  
5 stability is a problem because the repository has to be open.  
6 There are a lot of ways to engineer around this. My  
7 thinking is that we haven't had time to really think about  
8 it. If we put the engineers at work, they'll come up with  
9 good solutions. And, I'm just pointing out some of the  
10 observations that there are on man-made and natural openings  
11 that have stayed at least for 2,000 or 3,000 years. We know  
12 they have been stable and open. We have to figure out why  
13 they've been open. What are the special features of those  
14 things? In cases like in the shaft and we really don't trust  
15 the shaft to stay open, we want to do a backfill with rubble  
16 or a certain kind of reinforcement that allows air to go  
17 through it that maintains stability.

18           This last part is really meaning that we really  
19 have to plan on monitoring this. Now, I know right now the  
20 idea is to monitor the repository for at least 300 years  
21 which basically within that period of time, I think, we're  
22 going to learn whatever there is to learn about the  
23 performance of this repository. So, basically, this is  
24 saying that we need to monitor this remotely.

25           Human intrusion, I don't see it as a severe

1 problem. If there's an intelligent human, there's no way you  
2 can keep him out of there. He knows how to deal with it. If  
3 it's not an intelligent human, there are really simple ways  
4 to keep him out of there.

5           As far as the atmospheric emissions is concerned,  
6 from what I hear, is that the inventory is not really  
7 sufficient to worry about especially once this stuff gets  
8 into the atmosphere. There's so much dilution that doses  
9 have just got to be a way below the--as far as particularly  
10 the emissions are concerned, there are many, very simple,  
11 passive ways to take care of it. The simplest one is by  
12 creating velocity-reducers. Just increase the diameter of  
13 the shaft and the velocity reduces to the point that the  
14 particulates would deposit. You just have to know what size  
15 particulates you have and what velocity was the maximum  
16 velocity. It's very easy to calculate the diameter you need  
17 to have these particulates deposited so they don't go past.  
18 We use this all the time in drilling for dust control.

19           There's been a concern in the water flooding into  
20 the shaft. I think Solitario Canyon is a very good place to  
21 have these shafts surfacing horizontally. We don't have to  
22 surface them up in the surface. All we have to do is maybe  
23 100 feet below the ridge, just turn them horizontally. Then,  
24 we don't have to worry about flooding the shaft.

25           I think these kind of things are just the things

1 that come to my mind and I'm sure if we turn these things  
2 into the engineers, they'd come up with all kinds of  
3 brilliant ideas and solutions for these kind of problems.

4           What I wanted to propose, if this becomes--if it  
5 fits into the program, the east-west drift or northeast-  
6 southwest drift, whatever we're calling it, it's a good  
7 opportunity to experiment. We don't need to have a really  
8 long shaft. We can put a short shaft and surface it in the  
9 Solitario Canyon and put a heater down in here and an  
10 instrument and see how this thing performs. I think this may  
11 be a relatively inexpensive tagalong on the east-west drift.  
12 But, you can think about experimenting.

13           That's all I have. Open for questions.

14       COHON: Thank you very much. Questions or comments?

15       BULLEN: Parviz, could you take a look at your  
16 temperature distribution for the 4mm/year? I was a little  
17 bit intrigued there by the fact that .3 meter radius is the  
18 peak and the others all fall below 20 degrees Celsius over  
19 that time period. Is that due to the fact that you get more  
20 mass transfer with a larger diameter?

21       MONTAZER: Let me find it. All right.

22       BULLEN: I guess, could you just explain the trending  
23 there for me?

24       MONTAZER: We're talking about the--okay, which one?  
25 This is the heater. This is the source.

1 BULLEN: Oh, that's the source, okay.

2 MONTAZER: Right, that's the source. That's where the  
3 canister is.

4 BULLEN: And so, you're coming out in the radius and  
5 you're doing the temperature distributions as they go?

6 MONTAZER: Right. This is at the wall.

7 BULLEN: Okay. So, your delta T across the canister to  
8 the wall is on the order of 25 degrees C?

9 MONTAZER: Right.

10 BULLEN: And, it converges down to--

11 MONTAZER: Right. In this particular instance, we start  
12 at 19--at this level, the temperature is 19 degrees C. And,  
13 the reason, it's following--the temperature of the rock  
14 falling below and in this case--this is kind of strange, but  
15 I have not seen it in the tunnel, but we've seen it in the  
16 desert. It's mainly evaporative cooling that does this.

17 BULLEN: Okay. I guess, the other question is what's  
18 the velocity of the flows; just a meter/sec?

19 MONTAZER: Yeah, in this case, we are flowing at one  
20 meter a second.

21 BULLEN: Okay, thank you.

22 MONTAZER: Sure.

23 NELSON: Two comments. First, my experience with rates  
24 of dry-out with air moving past a rock surface, particular  
25 smooth TBM excavation, is that a two foot depth dry-out in

1 two weeks is pretty fast. I'm wondering about the use of TDR  
2 as moisture probes. So, that's one observation because I'm  
3 not for sure how sensitive they are in terms of picking up  
4 that kind of moisture condition. But, I'm also aware that  
5 DOE has installed what they call heat dissipation probes.  
6 Quite a number of them are planned for the ECRB and are also  
7 used in some of the test drifts that have already been done.  
8 Have you used that data, for example, in your model to  
9 verify?

10 MONTAZER: Not in the most recent one. I've talked to  
11 Allan Flint and use his data from the ESF. He had some  
12 moisture measurement, and there, I can't remember the exact  
13 timing, but he confirmed that, at least, in 10 or 15  
14 centimeters. It didn't take very long for it to dry out.

15 NELSON: Well, I mean, it would be interesting to have  
16 these measurements because I think sometimes those  
17 measurements in the ESF are made a little bit belatedly and  
18 these are being put in fairly quickly. At 30 meters a day  
19 average advance, that might be several days behind which is  
20 fairly fast. Is that data generally available for you?

21 MONTAZER: You mean, the USGS data? It takes a while  
22 before we get the data. Usually, we don't get it done before  
23 six months--you know, six months or a year. It takes us that  
24 long to get--this is just the process of QA, etcetera.

25 STELLAVATO: We get data--we have to request it and it

1 has to be turned into the technical database as per their  
2 milestone requirements before we can really get any of the  
3 data. We can look at data and sort of just tease us with it,  
4 but we can't get it until it goes into the database and then  
5 we can get any data we need. But, we got that lag and we'd  
6 like to get it sooner, like monthly would be great.

7 SAGÜÉS: Have you worked out some of the biological  
8 implications of the concept like, for example, plant life or  
9 animal life getting into the drifts over a--of time and, you  
10 know, blocking--

11 MONTAZER: No, no, that's an interesting consideration  
12 that we've got to get a biologist or botanist to look into.  
13 No, I haven't thought about that.

14 SAGÜÉS: Thank you.

15 CRAIG: Since this comes from Nye County, I guess it has  
16 some kind of quasi-official status. I'd like to ask Wendy  
17 where this concept fits within the environmental impact  
18 options part of the DOE?

19 DIXON: I'm sorry, could you clarify what you mean by  
20 this concept?

21 CRAIG: Well, we've just heard about a concept which is  
22 very different from any of the ones that DOE is looking at.  
23 It's at the very minimum interesting. And so, my question to  
24 you is what kind of thought is being given to including the  
25 concept as an alternative in the environmental impact

1 process?

2       DIXON: Okay. I'm going to roll back to the overall  
3 umbrella of the presentation that I gave earlier, but with  
4 respect to the analyses of design features that Lee Morton  
5 was talking about which I think is what you're referring to,  
6 not as it relates necessarily to implementing an alternative.  
7 In our analyses of design features that we mentioned, one of  
8 the design features was type of ventilation and what would be  
9 the environmental impacts be as it related to ventilation.  
10 So, what was presented really is already incorporated as part  
11 of our design features analysis for the EIS.

12       BARRETT: Could I clarify? You know, Wendy's  
13 ventilation alternatives do not--none of those have the  
14 repository open for the post-closure period. For the  
15 monitoring period for up to several hundred years, I think  
16 do. This does not. You don't have it open indefinitely like  
17 this proposal.

18       DIXON: No, it's not open indefinitely from this  
19 proposal.

20       BARRETT: So, the answer is--when Wendy drew those  
21 little diagrams up there, if this works out--we won't  
22 prejudge it. If this ever becomes the reference design at  
23 some point, then we would have to go back and basically  
24 address in NEPA space what we would do with the EIS. It may  
25 be an EIS supplement or whatever it is if this were to

1 happen. Okay? But, right now, this is not bounded by the  
2 draft EIS, this concept. But, that doesn't preclude it from  
3 ever happening.

4 DIXON: We have that issue with respect to taking credit  
5 for institutional controls beyond 100 years, too, which is--

6 BARRETT: This is for thousands of years this would be  
7 open--

8 DIXON: Which is why ours don't go beyond that.

9 BARRETT: Yeah, and this doesn't cover--know it's not  
10 bounded by Wendy's.

11 COHON: Any other questions or comments?

12 (No response.)

13 COHON: Thank you both very much.

14 Before we start the public comment period or  
15 perhaps as the first question in the public comment period, a  
16 Board member actually would like to ask a question of Lake  
17 Barrett. Lake, are you ready?

18 PARIZEK: This morning, you mentioned about to close or  
19 not to close the repository and sharing that decision perhaps  
20 at a Nevada State level through the University system. It  
21 would appear like we were all brain dead when you said that  
22 because that's a new suggestion and nothing was ever said  
23 about that. But, could you elaborate what the thought  
24 process is there?

25 BARRETT: Okay.

1           PARIZEK:  Again, whether those would include to  
2 withdrawal and retrieve wastes or not or just strictly to  
3 close or not close?

4           BARRETT:  No, this is just an expansion of what we  
5 discussed in a previous Board meeting of the operating  
6 concept that we will have in the viability assessment of  
7 basically a monitored geologic repository.  Now, just to  
8 review what that concept was, we are designing the repository  
9 to be in a monitored condition meaning the waste is in place,  
10 the drifts are there, the ventilation is operating at some  
11 ventilating mode--it may very low or it may be high--and then  
12 we're going to do as part of the studies in ventilation that  
13 we talked about a little bit today, and the decision will be  
14 made as to when to seal the repository.  Slang, to seal the  
15 repository, close the repository.  That could be as early as  
16 a few years after the last package is emplaced, and it could  
17 be from an engineering design point as 100 years.  But, we  
18 believe that the reference design drifts would be stable with  
19 maintenance, you know, out to, say, 300 years.  After 300  
20 years, you'd have to have a major refurbishment if one wished  
21 to keep it opened after that point.  At that time, I think  
22 future society will decide if the repository should be sealed  
23 or continue to be in a monitored condition.  I did not  
24 address retrieve.  That option to retrieve is there.  If you  
25 decide to retrieve and you have not closed the repository,

1 it's easier to retrieve than having to dig the seals out the  
2 plugs out and retrieve. But, I've never talked about  
3 retrieve.

4           Now, we never talked before about who decides to  
5 seal, when to seal the repository. I would propose that that  
6 be kept to the nearest local scientifically competent  
7 organization to do that. And, it would be my opinion--I  
8 won't say it's official. In my personal opinion, that that  
9 ought to be something like, say, a University system of the  
10 host community that you're in. Now, it did not have  
11 anything to do with retrievability. To retrieve would  
12 require substantial resources. If the decision is to  
13 retrieve the material, okay, that's an iffy, that would have  
14 to be done on a national basis because I don't expect any  
15 State, local sort of--to have the resources to "retrieve the  
16 material". That would have to be done basically by an  
17 equivalent of a Federal body to retrieve the material. The  
18 resources, that's a substantial amount of resources. We  
19 certainly wouldn't want to emplace the waste or even start a  
20 repository unless we had some reasonable expectation that  
21 this was going to work. But, I wouldn't put the burden to  
22 retrieve the material upon any, let me say, State system to  
23 do that.

24       PARIZEK: But, just if they would recommend, they--and  
25 they want you out of town, so they say retrieve, you're

1 saying it's one to seal or not seal and they might have  
2 opinions about--

3         BARRETT: That's correct. To seal or not to seal, that  
4 decision basically is delegated from the Federal, let's say,  
5 the national body to the State body and they can do that as  
6 they deem it appropriate to seal or not to seal. If the  
7 decision was to retrieve or not to retrieve, I would say that  
8 the local body would recommend to the national body, look,  
9 the thing isn't working right; you know, I believe you should  
10 retrieve this stuff, and then I think the national body would  
11 have to make that decision.

12         COHON: We'll turn now to the rest of the public comment  
13 period. Let me announce at the end of that period, we will  
14 have a presentation of the public TSPA slide presentation  
15 which we did not have time for earlier today.

16                 Five people have asked to speak which is nice to  
17 hear. That's gratifying that there's that much interest. In  
18 light of the number, I propose that each person limit their  
19 remarks to 10 minutes and I will keep track.

20                 Judy Treichel? Please, identify yourself again and  
21 whatever affiliation you carry, give, if you want one.

22         TREICHEL: Judy Treichel, Nevada Nuclear Waste Task  
23 Force.

24                 I won't need 10 minutes. I wanted to make some  
25 comments about some of the things that Lake had said earlier

1 and about just some of the presentations that we had heard.  
2 There was a lot of talk today about uncertainty and how many  
3 things are uncertain and how uncertain they are and a lot of  
4 those are just guesses. There is one thing that is  
5 absolutely certain and that is that this repository, as the  
6 conceptual design or as it's shown on the viewgraphs, will  
7 leak. It will deliver doses. That's a given. There's some  
8 uncertainty about when it does that and to what extent it  
9 does it, but one of the things that Lake said was that he did  
10 not want to provide an unreasonable insult to future  
11 generations. On some of those viewgraphs, we saw doses in  
12 the range of 300 millirems to 3,000 millirems possible and  
13 there are other people who say that they could even be higher  
14 than that. In my estimation, that's an incredible insult,  
15 much beyond unreasonable.

16           I'm also distressed with the interactions between  
17 DOE and the EPA. I was gratified to hear the conversation  
18 that went on about how do people talk to the Department of  
19 Energy and the sort of disconnect with all of the talking  
20 that the Department of Energy does the other way and, in  
21 fact, gets trained to do it. Don't take the time to get the  
22 training, Lake. You can just talk to us. It will work just  
23 fine. But, there is no way to do that.

24           I can write letters to President Clinton. I can  
25 probably write letters to world leaders. I can write letters

1 until I'm blue in the face. What I will tell you, in my  
2 opinion, the way the public talks to DOE is right here. This  
3 is the best venue that we have to do that when DOE is here.  
4 It's going on the record and the Board hears it and it  
5 becomes real. This is probably the only place that that  
6 happens.

7 I started to say I'm concerned about DOE talking to  
8 EPA about standard. Yes, this is site specific standard. I  
9 disagree with that. I think there has to be a standard for  
10 radiation exposures that's allowable or not allowable and it  
11 doesn't matter where it is. A rem is a rem, a rad is a rad,  
12 a dose is a dose, and it's wrong to have it site specific.  
13 It's also wrong to be telling EPA what you think  
14 technologically can be done. That doesn't matter. If you  
15 don't think that you can meet a standard, then that's too  
16 bad. You can't build the facility.

17 That goes for a whole lot of other things that we  
18 hear on and on about, well, winning the game. I don't like  
19 an analogy where a repository going in or the license to  
20 construct is a win in the game. It's not a win in the game  
21 if this thing cannot isolate waste. We know that it can't  
22 isolate waste. It can possibly dilute it. The last thing we  
23 heard in a very recent meeting was that it would delay the  
24 dispersal. Well, that's a hell of a long way from what we  
25 all started hearing in the very beginning about waste

1 isolation. And, I know that you alluded to that, Lake, in  
2 your presentation where you said that absolute assurance of  
3 complete containment is unreasonable. Well, that isn't what  
4 we were told. We were originally told that's what we would  
5 get. You go on to say that if the repository becomes so  
6 saddled with expectations that it may lead to the rejection  
7 of an otherwise suitable site. Well, a site isn't otherwise  
8 suitable. It's either suitable or it's not and I think  
9 there's a lot of evidence that probably this one is not.

10           And then, finally, I think this whole conversation  
11 that we've just had about Nevadans deciding when to close the  
12 thing is ridiculous. Who pays, by the way, when Nevada  
13 decides to close? Is that something that they--you said it  
14 was too expensive for us to retrieve. Is it sort of  
15 affordable for us to close it?

16           BARRETT: May I respond or what?

17           COHON: By all means, please?

18           BARRETT: What the plan would be is monies will be set  
19 aside paid by the waste generators is the concept to close it  
20 and to monitor it. And, what you do is for every year you're  
21 monitoring, you'd take the interest on investments and that  
22 would pay for the monitoring costs. When it came time to--if  
23 the entity wished to close it, they could take that money and  
24 those investments and use that money to close and then it  
25 would be closed and the money would be gone. But, that money

1 would be provided to the entity for the monitoring period and  
2 it should be sufficient to close it or to monitor it as the  
3 future generations decide to do it. That's the concept. It  
4 would be provided by the Waste Fund, by the waste generators.

5 TREICHEL: Will Nevadans also be monitoring or this  
6 would be the Federal doing that?

7 BARRETT: Well, I would say the monitoring should be  
8 done by, to me, the credible scientific body that's closest  
9 to it. So, I would say--would be basically the Nevada or,  
10 you know, something like that. Now, this is decades in the  
11 future and, you know, it's not now. I think it should be  
12 nearest to where it is as opposed to being Federal. So, I  
13 would propose it would be the state--if the state would wish  
14 to do it. Now, if the local body wished not to do it, then  
15 the Federal Government would continue to do it. But, I think  
16 that choice should be--

17 TREICHEL: Well, if you want to test how well that works  
18 and remove some of this uncertainty that we hear so much  
19 about, maybe you should go to those entities and ask them  
20 about opening the facility and see how well that works. I  
21 have as much confidence that you would rely on Nevadans for a  
22 decision like this as I do the reverse. You're not going to  
23 come to us and ask us whether or not you should open it  
24 because you know what the answer would be. I also don't  
25 think that there's any possibility that Nevadans would do

1 that and I would hate to see Nevadans get saddled with the  
2 monitoring job, and obviously, my worst fear would be when  
3 the dose receptor from Amargosa Valley comes running up and  
4 says, hey, it's not working, as you mentioned. I mean, this  
5 is really bizarre. If there's even a possibility of that,  
6 this thing has got to be a no-go. We don't have to do this.  
7 There's no absolutely no reason and specifically when you  
8 say this repository solves an environmental problem and goes  
9 about the business of increasing the safety of the population  
10 from a lot of what we see when you're looking long-term, a  
11 long ways out, it's doing exactly the opposite and we can't  
12 let that happen and we probably won't.

13 Thank you.

14 COHON: Thank you, Ms. Treichel.

15 Ivan Stewart?

16 STEWART: Thank you. My name is Ivan Stewart. I'm  
17 employed by a company known as NAC International in Atlanta,  
18 Georgia. My reason for interest here is my company does some  
19 things that makes us continue to follow the activities here.  
20 We provide NRC licensed containers for spent fuel for both  
21 storage and for transportation. We also run for the  
22 Department of Energy a program that monitors where all the  
23 fuel is at the present moment and in the future. That is, is  
24 it in the reactor, is it in the fuel pool, or is it already  
25 in dry storage? Finally, my company is the project manager

1 for a private interim storage site in Wyoming and we hope to  
2 be storing 40,000 tons of the 70,000 tons that this facility  
3 will be designed for someday.

4           After I wrote my remarks, as I usually do, I asked  
5 myself what are you really trying to say, Ivan, so everybody  
6 will understand it? And, I concluded I'm appealing to the  
7 subject of finances and conservation of resources. Here is  
8 my observation. It seems to me that the products that my  
9 company makes and the competitors of my company will probably  
10 be the packages that contain the fuel when it arrives at  
11 Yucca Mountain. It seems to me, as you said this morning,  
12 Lake, that you don't have all the money to do all the things  
13 you would like to do and you also pointed out that the  
14 utilities are suing the Department for some \$3 billion again.  
15 It seems to me that if they are successful, there will be  
16 even less money around to do what you want to do. So, I  
17 would say that it seems to me that the container suppliers  
18 like my company who work under the same NRC that you will be  
19 dealing with looking into things like criticality and heat  
20 transfer and materials properties, although for a shorter  
21 period of time than you're considering, could have lots of  
22 input to your waste package design.

23           During the break this afternoon, one of the Board  
24 staff members approached me and said, Ivan, it's been a long  
25 time since you've been to one of our Board meetings. What

1 brought you to this one? And, I said, well, I read the  
2 announcement and it said that DOE was invited to present the  
3 waste package design and I'm very interested in that. So, I  
4 came to listen. He said, well, then you're probably very  
5 disappointed, Ivan, because we didn't discuss it today. I  
6 said, yes, you're right. I was hoping to hear all of the  
7 detailed design and maybe that will happen at another time.

8           But, at any rate, my point is that the utilities  
9 are spending a lot of money to buy my containers and other  
10 people's containers, as you well know, Lake, and that's part  
11 of the reason that they're filing a lawsuit. But, there is  
12 something going on in my part of the world that I don't think  
13 is quite consistent with your part of the world. That is to  
14 say in my part of the world, the compelling factors are  
15 maximum MTU per container because that's what results in the  
16 lowest cost to the utility. And, also, they want an NRC  
17 approved container because they don't want any risk. So, it  
18 seems to me that suppliers could perhaps do you a lot of good  
19 if they were considered to be the prepackers of your system  
20 because our containers will be what arrives at your site.

21           Here's some specifics of what I would like to offer  
22 as an observation. Number one, I don't think we're being  
23 consulted today as a group. We used to be when you were  
24 doing MPC, but that seems to have stopped. Container  
25 suppliers like my company are getting NRC licenses and are

1 struggling with many of the issues that you are facing. But,  
2 they're also struggling with what's the future product that  
3 they should offer. For example, I heard today for the first  
4 time that you would like to see or possibly would like to see  
5 C-22 as a desired material in your waste package. Well, I'm  
6 not sure that we can accommodate that in our packages of the  
7 future, but at least if we know that's what you want, we  
8 could try. If you wanted to really help us in that regard,  
9 the single most important thing I can think of is if you  
10 would make sure that it's an ASME approved material. Maybe,  
11 it is. But, if there's one thing NRC likes, it's ASME  
12 approved materials. So, if you could arrange for that, that  
13 could be very helpful in our decision as to whether or not to  
14 put it into a future product.

15           More importantly, I found out that oftentimes it's  
16 more important what's not permitted in a design than what is  
17 permitted. I'm hearing things, rumors I'm afraid, about  
18 things that are not permitted in your waste package. I would  
19 dearly like to know what those are. So, again, I think if we  
20 were consulted, we could be quite helpful on that regard.

21           After having written these remarks and then hearing  
22 Mr. Morton's paper, I wasn't so sure that my remarks made any  
23 difference anymore because I noticed on Page 2 under design  
24 features and characteristics that he says he's going to  
25 include blending of wastes which, to me, means you're going

1 to take our packages and open them and blend the waste, in  
2 which case what's in the package perhaps doesn't matter.  
3 But, that's just another reason why I think we should get  
4 together. I noticed some other items on the list also about  
5 shielding, fuel consolidation, and filler materials which we  
6 have several opinions on and would be glad to contribute. I  
7 personally think I'm the oldest living supporter of fuel  
8 consolidation. So, I would have a lot to say on that matter.

9           But, anyway, my main point is I think we could be  
10 quite helpful.

11           Thank you.

12           COHON: Thank you.

13           Sally Devlin?

14           DEVLIN: I want to thank you again for coming to Nevada  
15 and I hope you had as good a time as you always have. I do  
16 want you to know Jim and I are going to find out about these  
17 contaminated--or these canisters that we were talking about  
18 with the Navy.

19           But, I'm really here to quote and it's my day to  
20 pick on Lake Barrett, but I can't help it. And, that is his  
21 attitude--and this is from the January 20 meeting in  
22 Amargosa--was that those who really clearly opposed  
23 geological disposal and I expect that the viability  
24 assessment will be used by them to stop the program and so on  
25 and so forth, and he says, but both of these arguments seek

1 to reconsider the international consensus on geologic  
2 disposal in my opinion are a step backward in the face of  
3 accumulating inventories of spent fuel, accelerated cleanup  
4 of nuclear weapons complexes, and support for our  
5 international nonproliferation national defense objections.  
6 The debate regarding viability assessment and the continued  
7 pursuit of geologic disposal at Yucca Mountain is likely to  
8 be contentious and polarized. Then, we want, we share, we  
9 appreciate, we will, we are also, and so on.

10           Now, I've worked with a million groups except on  
11 being a stakeholder and I'm kind of isolated in Pahrump. But  
12 we, as I said, is a royal plural. And, I really feel that  
13 it's inappropriate. I am sure that Mr. Barrett is a group of  
14 people. I've never seen anything from the Board that said  
15 we, the Board. It's always the Board or the group or this  
16 one or that one. What he ends with today is our plan calls  
17 for substantial effort after the VA, as though it's already  
18 passed and I don't appreciate that, at all, because it isn't.  
19 It may not be a viable assessment to complete the site  
20 characterization, to continue our design activities, and so  
21 on. And then, you go on to the dates and what have you.

22           In my very humble or not so humble opinion, I feel  
23 that what you are doing is appealing to ignorance. For those  
24 of you who remember your philosophy and your critical  
25 thinking, what this means is because you say it that it is so

1 because nobody has proved that it isn't. This is a very  
2 dangerous thing that you're doing and I feel it should be  
3 looked into because this is not a done deal. As Judy said,  
4 there's so much to look at. And, I go back so many years and  
5 I remember Wendy saying I'm going to save the desert tortoise  
6 with my life. Remember that? And, John Cantlon--yes, you  
7 do--and then he said did you see the hydrologists and the  
8 thermologist and you said no. Well, that was the last the  
9 desert tortoise were ever mentioned. So, things do change  
10 and we do grow up and we do have different concepts. My  
11 point of view is, living within the shadow of Yucca Mountain,  
12 that I am petrified that this appealing to ignorance is  
13 prevalent and has got to stop in my opinion.

14           And, I again thank you for coming. There's only  
15 one other thing and that is, of course, I wrote the  
16 Congressional Report and I called Washington and I talked to  
17 Sheldon and I said, Sheldon, you left out three little words.  
18 And, he said we knew you were going to call and, of course,  
19 my three little words were that Yucca Mountain will be open  
20 and you forgot for a hundred years. When I started, it was  
21 50 years. And, it was 100 years. Sheldon said you're  
22 talking about 300 years. I think that should be brought up  
23 and I didn't know whether the Board was talking about it or  
24 who was talking about it. But, my question is are we going  
25 to have Ride a Pale Horse or are we going to have 10 million

1 people or 10 billion or 12 billion or whatever it is and how  
2 is all this going to fit in? And, who is going to be there  
3 to monitor it in 300 years? Most societies have died within  
4 200 years and we've always had our share. So, it's something  
5 not only what languages are you going to say keep off the  
6 grass, but who is going to be around to monitor it?

7           Questions always. I hope you can answer some.

8 Thank you.

9           COHON: Thank you, Ms. Devlin. I'm sure those questions  
10 were intended for Mr. Barrett.

11          BARRETT: First of all, Sally, you mentioned about the  
12 "we". I will try not to use it again. When I use it, I am  
13 merely as the head of the family, as I would say, of the DOE  
14 staff and the contractor support. I do use the term "we"  
15 because I like to say we are a team doing the nation's work  
16 here. So, that's why I use the word "we". It certainly is  
17 not the "royal we". It is not the deity and I doing this, at  
18 all, as you can obviously see. But, I will take that into  
19 consideration and be careful of its use. Thank you very  
20 much.

21          COHON: Lake, would you say something about the last  
22 issue Ms. Devlin raised with regard to how long the  
23 repository might stay open before closure?

24          BARRETT: Okay. What we are trying to do is to dispel  
25 the notion that many have of technological arrogance that,

1 you know, technicians today are saying that we're going to  
2 put this down a hole and we're going to seal it up and we  
3 know exactly what's going to happen in the year 2060. None  
4 of us will probably be alive in the year 2060. The future  
5 generations are going to decide do they wish to seal it or  
6 not. And, clearly, we expect to be around--this society, we  
7 expect to still be here in 2060 when we put the last can in.  
8 Then, if we think that then that society, if they wish to  
9 seal it and basically have the ultimate in passive  
10 engineering where basically you can seal it and you can walk  
11 away and future generations do not need to meddle with it  
12 because the environmental situation will be adequate in our  
13 opinion and certainly will be society's opinion if we go  
14 forward and do this, it won't depend upon future generations.  
15 So, it doesn't matter, you know, what society is here, if  
16 it's an advanced society or a non-advanced society at that  
17 point. But, it doesn't say it has to be left open. And,  
18 clearly, you would want to seal it before--if you believed  
19 society was going downhill, you'd want to seal it before it  
20 did that and that's what the plan would be.

21 COHON: Thank you.

22 DEVLIN: Again, you didn't say--

23 COHON: Ms. Devlin, Ms. Devlin--

24 DEVLIN: (Inaudible).

25 BARRETT: Thank you very much. I'll be careful with my

1 language.

2 COHON: Tom McGowan?

3 MCGOWAN: I, for one, have no questions for Dr. Lake  
4 Barrett. That's a pretty name, but I really have nothing to  
5 inquire about. --and I'm very impressed, particularly with  
6 the latest--this morning which sounds like a very prudent and  
7 advisable opening a crack of the back door. I'll explain  
8 this later. It's not important right now. But, there is  
9 that perception if you don't mind my saying so and I think  
10 it's ingenious.

11 I would say this to you, however, in a spirit of  
12 levity being a Navy man. There is a message for Dr. Van Luik  
13 from close family members who have said if you're not in  
14 bed by 10:00, get home right away. That's quite all right.

15 Mr. Chairman, how much time are we allotted?

16 COHON: 10 minutes.

17 MCGOWAN: 10 minutes?

18 COHON: Yeah, because more people signed up.

19 MCGOWAN: Surprise, surprise, I have no intention of  
20 going that long. I don't think I would persist that long.

21 COHON: Okay.

22 MCGOWAN: I have diuretics and things to take. In  
23 conclusion, I would be remiss if I would have failed to  
24 commend the Board for their outforming perstandance--I've  
25 just come from the lounge--in taking the discharge of their

1 mission and mandated responsibilities and in deserved  
2 recognition of the superb achievement on the part of all  
3 participants with the sole exception of you know who. And,  
4 that sets minds in motion right away.

5           --means imperfect, my understanding. Perhaps one  
6 day when they approach a closer understanding of what has  
7 been the missing link in these interminable proceedings and  
8 review or surmise the attribute and amenity obtained to a  
9 higher idealized standard of human spiritual quality  
10 effectiveness in terms of morality, reason, integrity,  
11 responsibility, and above all, conscience, you may have  
12 achieved the realization that the fundamental crux issue  
13 problem is not and never was nuclear energy and nuclear  
14 waste, or inscrutable mountains, or an elusive repository  
15 characterization, but rather a near perverse potential of  
16 limited--human nature itself which even in the best case  
17 scenario is vastly more so insurmountable than the  
18 complexities of hydrology, geochemistry, microbiology, and  
19 thermal loading combined, much less as exacerbated by the  
20 inseparable wisdom of the Congress of the United States and  
21 their bucks. Which is perhaps why I harbor no illusions, but  
22 naturally rely more so on creative intuition rather than on  
23 technical bases and why I risk--by questioning basic  
24 assumptions.

25           For example, what is geologic permanent--

1 repository about the subject facility? Anybody know? Why  
2 would they transverse east-west exploratory tunnel and  
3 enhance characterization with a repository block more so than  
4 a diagonal alternative except the goal is to insure the  
5 characterization is not as suitable or unsuitable of a single  
6 sub one mile repository drift? Which I think is brilliant in  
7 terms of cost-effectiveness. When did the term "viability"  
8 mean anything other than the insured capability to exist and  
9 sustain independent of any external impetus or impact,  
10 whatsoever? And, in what--void was any such viability  
11 assured in repository be suspended in continuum and by whom  
12 if not the--why would seismic energy be of less impact or  
13 consequences upon an array of underground cylindrical  
14 apertures and more so impacted upon a hypothetical surface at  
15 the same repository horizon, but devoid of geologic  
16 overburden? --albeit the one in open horizontal plain  
17 surface and the other a closed cylindrical--geologic domain  
18 which seem to be greater impact of consequence when you stop  
19 to think about it, by why quibble?

20           Perhaps, the greatest significance with anyone will  
21 ultimately say I'm responsible and the conceivability that  
22 the Board exhibits the historical impression of integrity and  
23 the courage of their convictions. I don't mean the Board  
24 integrity; I mean, historically unprecedented human  
25 integrity. There's been a dearth of that lately,

1 notwithstanding persuasive compound of political, economic,  
2 scientific expediency, not to mention Lake Barrett, that  
3 looms in crazily imminent even as we speak. I love you, Mr.  
4 Barrett. I really mean that. Okay? Notwithstanding, forget  
5 all this. It's not import--I'll talk to you later, okay?

6           And, who would recommend the sole, rational,  
7 responsible, unconscionable alternative? Who? Anybody ready  
8 for that? But, in closing, Sally, keep quiet. In closing,  
9 perhaps the most excruciating unresolved puzzle is this.  
10 When once securely externalized, DOE--Dr. Abe Van Luik purged  
11 as he observed the infinite singularity or ring or sphincter  
12 from which this whole thing was just--extruded and apparently  
13 still obtains in terms of sustainable dynamics except perhaps  
14 Yucca Mountain, Nevada and perhaps also in West Africa.  
15 Imagine, the two are almost coincident; isn't that right?  
16 And, precisely what, if anything, did an organism  
17 spontaneously evolve if not from nothing in particular?

18           Alternately, as advances get in scientific  
19 investigation, it continues to probe ever deeper in to the  
20 elusive ultra-microcosm of quantum mechanics. Is it  
21 conceivable that the scientific community has discovered  
22 nothing and that if anything, at all, that nothing persists  
23 as--and scientific wisdom and serves--in scientific  
24 reluctance to admit the confounding discovery that that  
25 nothing is not else but the Supreme Being, the creator of all

1 things including each and every one of us, for better or for  
2 worse.

3           Finally, please, join me in a brief recitation of a  
4 time honored hymn emblazoned in the hearts and minds of--and  
5 others who matriculated at the hallowed halls of Ivy to wit:  
6 We are poor little lambs who have lost our way, baa-baa-baa-  
7 -and I won't even go as far as the part that says, ladies and  
8 gentlemen, songsters--because it's inevitable somebody is  
9 going to say--with the DOE, but that's not my point, at all.  
10 I want to compliment Mr. Steve Brocoum, Dr. Lake Barrett.  
11 Oh, excuse me, Abe, I forgot, Dr. Abe Van Luik, Dr. Cohon,  
12 Mr. Barrett---with his hands in his pockets, he's very  
13 industrious--this gentleman, whoever it is, who has got a  
14 southbound view of the northbound hymn, who is that?

15           COHON: That's Dr. Runnells.

16           MCGOWAN: Is he anybody? Sagüés, where are you? I  
17 can't even pronounce your name. There's a lady here, what's  
18 her name? There's two of them actually. That's Wendy,  
19 right? Hi, Wendy. I never forget a dress. You were here  
20 before. And, this lady, what is it, Priscilla? See how  
21 quick I am; look at that. Yeah, everybody else, all of you,  
22 God bless you, my son, wherever you are. He's reading the  
23 paper, racing form.

24           I want to say in conclusion, Dr. Cohon, I cannot  
25 remember when I've taken this much time to do anything except

1 in the--you had nothing to do with that. I want to thank who  
2 else is here from the bottom of my heart. Remember one thing  
3 in the words of the gentleman who nobody recalls ever having  
4 voted for, there may be a viable alternative called retreat  
5 with honor. You might begin thinking about that because it  
6 may be cheaper in the long run and move this to some more  
7 advanced civilization to cope with. Incidentally, long  
8 before the mountain gets to Mohammed, you can bet Mohammed  
9 will get to the mountain and decide to dig probably within  
10 the first 200 years. --there's nobody on this planet that  
11 has come up with a guarantee of a sustainable formal  
12 government for a very long--and particularly none with our  
13 institutional controls. If you've been out here in the  
14 traffic, at all, you've got some idea what I'm talking about.

15           Thank you very, very much and I'll leave at this  
16 point while I'm still able.

17           COHON: Thank you, Mr. McGowan.

18           Bill Vasconi?

19           VASCONI: Sure, this old country boy follow Tom McGowan.

20           COHON: Sorry, someone had to do it.

21           VASCONI: Yeah, God gave us two ears and one mouth. So,  
22 I guess he fully intended us to listen twice as hard as we  
23 talk. I've certainly enjoyed today and the presentations. I  
24 surely enjoyed the fact that the site of this county, Nye  
25 County, had a presentation here. I, for one, would have

1 liked to have seen our state with a presentation here. I'm a  
2 Nevadan. I've been here not all my life because I ain't done  
3 living yet, but I've been here some 34 years. I originally  
4 come out of Pennsylvania.

5           So, I think I have a little bit of entitlement to  
6 talk on the microphone and I wanted you to know that there's  
7 a lot of Nevadans, regardless of what the State of Nevada  
8 says, that do believe that centralized storage is an answer.  
9 They're not fighting you all the way as our state  
10 delegation, our governor, etcetera, would have you believe.  
11 Now, yeah, a guy getting up on the mike talking like this  
12 will get a little name calling once in a while, but I don't  
13 mind it. I get along pretty good with DOE. I get along  
14 pretty good with NTS Development Corporation. I'm a board of  
15 director on it. I've been a past member of the community  
16 advisory board. I represent as a spokesperson some of our  
17 organized unions. Not all folks are opposed to Yucca  
18 Mountain.

19           Now, I do hear the terminology time and time again,  
20 10,000 years, etcetera. One more time, this old country boy  
21 will give our educational system a little better credit than  
22 that. I think they might find some of the things we're doing  
23 now ludicrous and it may not take the 55 years since we've  
24 been messing with nuclear. In 200 or 300 years, they might  
25 have it figured out. I like that terminology "retrievable".

1 And, yes, once upon a time, we did talk about going in there  
2 and gunniting (sic) it, concreting it, and putting the rock  
3 on top of it, telling what was buried underneath, and walking  
4 away and leaving it. It's more acceptable if it's monitored  
5 for temperatures, moisture, radiation, ventilated, and the  
6 possibility of being retrievable for a couple hundred years,  
7 300 years, that's very acceptable to the people of Nevada.

8           The other thing is, speaking of Nevada, you know,  
9 35 years in this state, 34-1/2, right now you're sitting in a  
10 county that's the size of Rhode Island and Connecticut and  
11 part of Delaware, Clark County. Here in Clark County, we've  
12 got 1.2 million people. Fifty percent of those people have  
13 been here less than 10 years, less than 10 years. Now, you  
14 ask them what's important to them and it's traffic, crime,  
15 schools, water, tv, the weather at the lake, and about #14,  
16 you say what do you think of Yucca Mountain and they say  
17 Yucca Mountain? Not all folks know where Yucca Mountain is  
18 at and you tell them it's 100 miles outside of town and  
19 they're going to have nuclear waste there. Yeah, you get a  
20 lot of this--hysteria that's been brought on, but that's  
21 because perhaps DOE and the State still aren't talking.  
22 There's no meaningful dialogue there.

23           After all, tomorrow, the State, Bob Loux, who Judy  
24 works for--she's paid to get up and say what she does; I  
25 don't get a damn dime for what I say. She's paid to get up

1 and ostracize and criticize the committees, etcetera. But,  
2 bottom line is they're asking the State of Nevada for monies  
3 tomorrow because the monies were cut off through the Federal  
4 Government for their oversight. The county is--counties are  
5 about money. I didn't hear any of them jumping up and saying  
6 let's give it to the state. They're doing a pretty good job.  
7 I'm glad you folks are still sticking with those affected  
8 counties.

9           One or two more comments and I'll get down off  
10 here. I did want you to realize the fact that Nevada is a  
11 good, big, old state. We've got all the material out here,  
12 as you look around and see all these new buildings. Nevada  
13 don't make steel, but it's produced in a country that has  
14 nuclear power. They all drive automobiles. Some of them are  
15 foreign made. They're all made in a state that has nuclear  
16 power. Even if it comes from overseas, it has nuclear power.  
17 I don't care if it's draperies or cement or two-inch rebar,  
18 those folks probably manufactured that with some sort of  
19 nuclear power. California and Arizona has got nuclear power.  
20 We're all on that electrical grid, but Nevada says we don't  
21 have anything nuclear. Hell, how many of our sons and  
22 daughters have served in the military on atomic submarines or  
23 carriers?

24           Nevada says leave it where it's at. Leave it where  
25 it's at. --aquifers, populated areas, throw it off board

1 ship. You're doing a good job. I want to see this project  
2 continue. One thing you can do for Nevadans and you've heard  
3 me say this before if you've been around me, Clark County  
4 should be taken out of any equation you get up against  
5 because we have enough crazies here. Somebody is going to  
6 lay down on the railroad tracks or lay down on that highway  
7 and let you run right over them. Clark County should be  
8 taken out of the equation; not so much Clark County, greater  
9 Las Vegas area.

10           Now, there's an answer to a lot of this; railroads.  
11 You know--out of Caliente, you've still got to go 361 miles  
12 to Yucca Mountain--do you know what our state says? If it  
13 snows, they won't even move the snow for you. There's  
14 another alternative and the State might go along with it.  
15 Between--a little place called Borarie, it's pretty dang flat  
16 for a good many miles. You've got to go through the little  
17 Cortez stretch there and then you go down to Smokey Valley.  
18 You hit Tonopah and head south back toward Las Vegas.

19           Now, we've got a railroad system that's a  
20 geographical center of the State of Nevada. There's no  
21 railroads there. Once the waste is hauled, this opens up the  
22 State of Nevada for economic issues and development so that  
23 we can maximize the potentials and the credits that can be  
24 realized by our southern Nevada area due to the scientific  
25 and expertise developments of the Nevada Test Site over the

1 last four and a half decades. A railroad system. When you  
2 get into a conversation about routing, etcetera, have DOE  
3 give you a presentation on railroad systems. I don't believe  
4 it's cost prohibitive. I think it could be a done deal. I  
5 think there's money out there from DOD, the Air Force,  
6 etcetera, that will make it work.

7           With that in mind, I'll just close by saying thanks  
8 for giving me an opportunity to speak and, keep in mind,  
9 you've got Nevadans out here that are wishing the best for  
10 all of us.

11           Thank you.

12           COHON: Thank you, Mr. Vasconi.

13           TREICHEL: Can I make just a comment?

14           COHON: Certainly, Ms. Treichel?

15           TREICHEL: I do not want the record to reflect that I  
16 work for the State of Nevada. I have not done that for  
17 years. I'm the executive director of the Nevada Nuclear  
18 Waste Task Force and our sole income is through 501(c)(3) tax  
19 deductible donations from individuals; no foundations, no  
20 state, no government money. Bill knows that and I sent him a  
21 registered letter to tell him not to keep saying that and he  
22 refused to accept it. So, I just want the record straight.

23           Thank you.

24           COHON: Thank you.

25           May I ask for you to come up and start queuing up

1 the presentation while I make closing remarks?

2           Were there any other members of the public who  
3 wished to make a comment? Yes, sir, please identify  
4 yourself?

5           BECHTEL: Sorry, I got here late. I didn't have a  
6 chance to sign up. My name is Dennis Bechtel. I'm the  
7 manager for the Clark County Department of Comprehensive  
8 Planning, Nuclear Waste Division. We are monitoring, of  
9 course, Yucca Mountain issues.

10           I appreciate the questions about the communication  
11 between the public and the Department of Energy. I think  
12 those were very perceptive and important. Of course, we're  
13 not funded for a couple of years. We have been funded for  
14 FY-98. We're very appreciative of that. We intend as local  
15 governments to try to inform the public in our own way and  
16 elicit comments from the public, but there's actually another  
17 dimension to the interaction. Because we are affected  
18 governments and part of the law, it's uncertain in our mind  
19 just how our input gets into the Environmental Impact  
20 Statement process. I think we feel that it's more than just  
21 that we should be providing that during the draft comment  
22 period. We did provide extensive comments during scoping and  
23 with the fact that we have a defined role in law, I think  
24 it's important that we not--and because we are developing  
25 information as an affected unit of local government, it's

1 important that we have an opportunity to understand how the  
2 information that we're developing gets into the EIS process  
3 and I think it's probably going to be more beneficial for  
4 Department of Energy and for the affected governments that  
5 have this prior to when the draft comes out.

6           So, I wanted to put that on the record. We've had  
7 some meetings with Department of Energy periodically and I'm  
8 hoping this can be worked out, but it's important that our  
9 input gets in because of the fact that--and, you know, in the  
10 interest of nuclear--the users of nuclear power are funding  
11 us for our opinion and that opinion, we feel, is important.  
12 We're on the bottom line when and if this project is  
13 developed. So, our input should be valuable, we would think,  
14 to the EIS process and prior to the release of the draft.

15       COHON: Indeed.

16       BECHTEL: So, thank you.

17       COHON: Thank you very much.

18           How long does the presentation take?

19       SPEAKER: It's very short like about less than two  
20 minutes.

21       COHON: Okay. Would you like to make some introductory  
22 remarks?

23       ANDREWS: Yes, I think I will.

24       COHON: Okay.

25       ANDREWS: One of the things about a TSPA, as we talked

1 about this morning a little bit--although the two words never  
2 came up in this presentation, the Board has mentioned them  
3 several times. These two words are part of the NRC's issue  
4 resolution strategy for the evaluation of TSPAs and also our  
5 own peer review has mentioned these two words. And, those  
6 are traceability and transparency. The Board in one of its  
7 recommendations, I think, either in '96 or '97 mentioned a  
8 lot of different ways to potentially enhance traceability and  
9 transparency of what is ultimately a fairly complex system,  
10 an uncertain system, and how do you communicate that?

11           We in the VA are trying to make strides to improve  
12 traceability and transparency. One component of that is  
13 communication at all levels. So, we are starting down a road  
14 of trying to essentially layer the communication starting  
15 with the system and then walked back into various levels of  
16 detail where ultimately when it goes out on the web or in  
17 public discussions, the user of the information could go to  
18 whatever level of technical sophistication or technical  
19 detail he or she desired. We haven't gotten very far.

20           Holly is going to show you how far we are  
21 essentially by taking the part of the presentation I gave and  
22 start layering it, at least the parts that are done, back to  
23 some technical inputs. So, Holly, if you'll go ahead and  
24 start and walk through it. Holly Dockery from Sandia.

25           DOCKERY: As Bob said, we tried to layer this, but it's

1 not very far along. We were responding to about 1600  
2 mandatory comments on the VA. So, this took the extra three  
3 hours we had left. What we envisioned, as he said, is having  
4 something you can move around in very easily. You don't have  
5 to go back to Slide 43 by clicking backwards. You can move  
6 around much more quickly. It's done with a program called  
7 Director.

8           Do you want me just to go to seepage or--

9           ANDREWS: Yeah, that's probably the easiest one.

10          DOCKERY: Okay. What we can do is we can show the model  
11 components, the various components that Bob was talking  
12 about, and there will be some bullets come up. For Abe, when  
13 he's out giving this presentation to the public, hopefully,  
14 he will be able to go to whichever portion or piece he's most  
15 interested in talking about. For instance, we have climate  
16 put in with graphic representation of what the various  
17 climate states would look like and then talk about some of  
18 the details in terms of precipitation and the type of--that  
19 you would find in it.

20           I can go to the next step which talks about the  
21 model confidence foundation, the types of information that  
22 goes into that, and maybe discuss some of the inputs. The  
23 next box, I could either have gone back to the components or  
24 I will just go forward and show you some of the methods of  
25 infiltration and, hopefully, the animation will give a sense

1 of what we think is happening and we won't have to just rely  
2 on the words; you'll have more visual.

3           I can go back to my components, and in this case,  
4 as Bob said, if we just talk about seepage, this is the one  
5 example where we went a little bit deeper. We show the water  
6 moving around the drift and the drips coming in and then some  
7 of the discussion that you would want to have about that  
8 particular item. Again, we have the model foundation, the  
9 inputs, and then the outputs. In this case, we talked about  
10 the repository--we showed the repository regions that are  
11 being modeled and so we're trying to get at the computer  
12 simulation and how we simulated seepage in the total system  
13 performance assessment. So, you can see the various areas  
14 where the waste package is and how you might have a variation  
15 in seepage in the drift and then again you would show--this  
16 is the computer grid and showed the percolation flux coming  
17 in. You have higher and lower permeability cells. The cells  
18 fill up. You get dripping and then there's a little bit more  
19 text in there that talks about how the dripping water occurs.

20           So, our next step from this might be to actually  
21 show some plot files and then go deeper and deeper into the  
22 data that supported this or the modeling results. In thermal  
23 hydrology, we have some computer simulation movies that we  
24 can plug in. So, this is what we're hoping to build on to  
25 help enhance the transparency of the TSPA models.

1           And, that's all we really wanted to show you.

2           COHON: That's a great start, very impressive, well  
3 done. It would be useful, I think, to use focus groups to  
4 see what kind of reaction you get to this to see if it's  
5 really working. You're to be congratulated for the work  
6 you're doing.

7           DOCKERY: I did want to mention that Abe and others are  
8 putting together some focus groups in concert with the public  
9 policy group at UNM and we're hoping to use them as a  
10 springboard to find out if this is a useful format for them.

11          COHON: I see. Well done.

12          PARIZEK: A suggestion if you had some real photographs  
13 of real places, as well, because this is all stylized, but  
14 very well done. But, some real scenes could be thrown in  
15 there to make it really real.

16          KNOPMAN: I'd like to volunteer at least part of the  
17 Board as a focus group. I'm serious. I think we would  
18 benefit greatly from it and we can also produce some quick  
19 feedback on what works for our purposes, too.

20          COHON: I think we can safely volunteer Paul Craig even  
21 though he's in the back of the room ignoring us.

22                 Yes?

23          STEWART: Will that software be available that it could  
24 be used by someone else, for example, to give a public  
25 understanding speech like in Wyoming?

1 DOCKERY: Director is Adobe software. So, it's a  
2 commercial software that's available. It's like \$700 or \$800  
3 for the software. It's a program. It's not like Power  
4 Point. You do have to do a fair amount of programming to  
5 make it work. That's why it has the flexibility that it  
6 does. But, yes, you can go buy it.

7 STEWART: Well, I guess, what I'm really asking is the  
8 work you've done, is it available?

9 DOCKERY: On this PowerBook? No, it really is a  
10 prototype that we've just started working on. So, we haven't  
11 gotten very far yet.

12 COHON: But, when it's done, it's going to be public  
13 domain.

14 DOCKERY: When it's done, it would be available for the  
15 public.

16 COHON: I would say you've struck a nerve. There's a  
17 lot of interest here and I'm glad we had a chance to see it.

18 Let me close this meeting by saying a very strong  
19 thanks to all of our speakers. I think it was an outstanding  
20 day. I want to congratulate and thank especially those who  
21 took on the coordination and planning for this meeting. From  
22 my perspective of having been on the Board now, I don't know,  
23 something like three years, maybe a little more, I've found  
24 this set of presentations the best coordinated, the best  
25 connected set of presentations I've seen. They were all very

1 well thought out and very well prepared. They reflected a  
2 great deal of thought in trying to respond to what the Board  
3 had requested and we appreciate that greatly.

4           So, my thanks to DOE and its contractors and all  
5 who participated. My thanks also to our staff for their role  
6 in arranging this meeting, and everybody else who  
7 participated. How about that so I cover all bases?

8           Thank you very much. We stand adjourned.

9           (Whereupon, the meeting was concluded.)

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1

2

3

4