

UNITED STATES
NUCLEAR WASTE TECHNICAL REVIEW BOARD

SUMMER MEETING

REPOSITORY DESIGN AND THE SCIENTIFIC PROGRAM

Beatty Community Center
200 A Avenue South
Beatty, Nevada 89003

Wednesday, June 30, 1999

The Scientific Program

NWTRB BOARD MEMBERS PRESENT

Mr. John W. Arendt
Dr. Daniel B. Bullen
Dr. Norman L. Christensen
Dr. Jared L. Cohon, Chair, NWTRB
Dr. Paul P. Craig
Dr. Debra S. Knopman
Dr. Priscilla P. Nelson
Dr. Richard R. Parizek, Co-chair,
Session on Geochemistry and Hydrology
Dr. Donald Runnells, Co-chair,
Session on Geochemistry and Hydrology
Dr. Alberto A. Sagüés, Chair,
Session on Materials and Performance Modeling
Dr. Jeffrey J. Wong

SENIOR PROFESSIONAL STAFF

Dr. Carl Di Bella
Dr. Daniel Fehringer
Dr. Russell McFarland
Dr. Daniel Metlay
Dr. Leon Reiter

NWTRB STAFF

Dr. William D. Barnard, Executive Director
Michael Carroll, Director of Administration
Karyn Severson, Congressional Liaison
Vicki Reich, Librarian
Ayako Kurihara, Editor
Paula Alford, External Affairs
Linda Hiatt, Management Analyst
Linda Coultry, Staff Assistant

GUEST

Dr. Victor Palciauskas

I N D E X

	<u>PAGE NO.</u>
Call to Order and Opening Remarks	
Debra Knopman, NWTRB	277
Session on Materials and Performance Modeling	
Alberto Sagüés, NWTRB, Session Chair	278
Corrosion: Tests and Process Modeling	
Joseph Farmer, LLNL	278
Overview of Total Systems Performance Assessment Modeling Plans	
Mark Tynan, YMSCO	319
Session on Geochemistry and Hydrology	
Richard Parizek and Donald Runnells, NWTRB, Session Co-Chairs	350
Scientific Program Overview	
Mark Peters, Los Alamos National Laboratory	351
Nye County's Drilling Program	
Tom Buqo, Nye County Hydrology Contractor	388
Use of Chlorine-36 and Chloride Data to Determine Hydrologic Pathways at Yucca Mountain	
Paul Dixon, Los Alamos National Laboratory	413
State of Nevada Regional Hydrology Studies	
Linda Lehman, T-Reg	433
Unsaturated Zone Transport Test at Busted Butte	
Paul Dixon, Los Alamos National Laboratory	456
Questions and Comments from the Public	490
Closing Remarks and Adjournment	
Jared Cohon, NWTRB	504

1 questions during the sessions themselves, we do have cards in
2 the back, on the back table there, and you may write out your
3 question, give it to Linda Hiatt of our staff, and she'll
4 pass it on to us.

5 I'd just also like to again offer our Chairman's
6 disclaimer from yesterday, so everyone is clear on the
7 conduct of our meetings and what you're hearing and its
8 significance. When a member of the Board speaks, and this
9 includes the Chairman, that member is speaking for himself or
10 herself. We are not stating Board positions, unless we
11 indicate otherwise. When we speak, we're speaking as
12 individuals.

13 So I'm now very pleased to turn the gavel over to
14 Dr. Sagüés, and look forward to a good session today.

15 SAGÜÉS: Very good. Thank you, Debra. I'm Alberto
16 Sagüés, a Board member, and we're going to have a couple of
17 presentations in this session. The first one, of course, is
18 the all important issue of the performance of the waste
19 package materials. And this first presentation is entitled
20 Waste Package Corrosion Testing and Model Development. The
21 presentation was prepared by Joe Farmer, John Massari and
22 Venkat Pasupathi of the M&O Waste Package Operations. And we
23 have seen Joe Farmer present them in the past to the Board.
24 I don't think that he needs much further introduction, and
25 we're ready for him, and there he is.

1 FARMER: Well, the title of this presentation is Waste
2 Package Corrosion Testing and Model Development, and if we
3 could go to the introduction? We, of course, all realize
4 that we have a very difficult task. We have to maintain
5 long-term containment of the various high-level waste
6 components. We have to do this for an extremely long period
7 of time, 10,000 years. This means, of course, that we have
8 to measure very, very small penetration rates, or corrosion
9 rates, and we have to do this with a very high degree of
10 accuracy. So a lot of what we've been doing over the past
11 year has been directed in this way, and I think you'll see
12 that as we go through some of the viewgraphs.

13 Of course, we also realize that site recommendation
14 and license application requires a number of credible
15 predictive models based upon sound scientific understanding.
16 We've also been endeavoring to do this. We have developed a
17 number of models to satisfy this end. These include models
18 to address general and localized corrosion, stress corrosion
19 cracking, juvenile failure and phase stability.

20 And, finally, we've already been able to draw I
21 think some fairly solid preliminary conclusions based upon
22 this initial modeling effort. First of all, with Alloy 22,
23 and this is of course one of the reasons we picked it, we
24 don't anticipate any significant localized corrosion. It has
25 a very high repassivation potential, so this turns out to be

1 an excellent material for the application that we're looking
2 at.

3 We also believe from looking at data from the long-
4 term corrosion test facility and other sources of data, that
5 the life of the waste packages will not be limited by general
6 corrosion. There was a concern early on with the phase
7 stability of material. As you'll see in some of the
8 viewgraphs today, we've been conducting in depth phase
9 stability studies of this material, looking at the
10 precipitation of Mu and other potentially undesirable phases,
11 and determining at what time and temperature you have to have
12 to encounter these undesirable phases. And basically, we've
13 also concluded that this does not appear to be a significant
14 problem for the material under repository conditions.

15 At the present time, we're focusing most of our
16 attention on the final closure weld. This final closure weld
17 is unannealed. We can't relieve the stress very easily and,
18 consequently, it's a potential place where stress corrosion
19 cracking might occur. So we're putting a lot of effort right
20 now on stress corrosion cracking.

21 This schematic is actually an overall, a roadmap of
22 how we're marrying or integrating these various models
23 together. Up at the top of the page, you can see one module
24 that says, "Waste Package Surface Environment." It turns out
25 that the environment that the actual waste package interface

1 sees is not going to be exactly the same environment that you
2 have in what is referred to as the near field environment.
3 It's going to be exacerbated because we'll have evaporation
4 and refluxing of the groundwater on the waste package
5 surface. This will tend to concentrate ions that could bring
6 about more rapid corrosion. So we have actually been
7 conducting a lot of studies, and have now more or less
8 experimentally determined what this waste package surface
9 environment will be.

10 We also have a phase stability model at this
11 particular point in time. This phase stability model
12 includes TTT diagrams, time, temperature, transformation
13 diagrams, based upon transmission electron microscopy data,
14 as well as precipitation kinetics that tell us how fast it
15 takes for these various undesirable phases to precipitate.

16 You'll remember that a year or two ago, we were
17 calculating environments in crevices, things such as
18 dissolved metal and crevice pH. We've now set up experiments
19 and we've gone in and determined these pH quantities in situ,
20 so the data you'll see today are not calculations, but
21 experimental measurements, and these measures have tended to
22 validate the computational models that we've developed.

23 We have experimentally determined corrosion and
24 threshold potentials. This is a very important parameter in
25 determining whether or not the waste package will undergo

1 general corrosion or localized corrosion. And, in fact, it's
2 these measurements that we use as a basis for justifying the
3 use of general corrosion rates for the waste package.

4 Once we go down through a number of switches, based
5 upon thresholds of potential and relative humidity, we
6 finally get to various penetration rate models. We have our
7 rate models for dry oxidation, humid air corrosion, localized
8 corrosion, general corrosion, and also stress corrosion
9 cracking.

10 As you'll see later in the talk when we go to deal
11 with stress corrosion cracking, we actually look at two
12 competing methods for dealing with that particular
13 degradation mode; one method based on a threshold stress
14 intensity factor, and another based upon a finite rate of
15 crack propagation that's dependent upon the stress intensity
16 of the crack tip and environmental parameter.

17 As I mentioned before, in the past, we've
18 calculated the types of conditions that we have in crevices
19 that might bring about premature failure of the waste
20 package. At this point in time, we've actually gone in and
21 experimentally determined these. The top lines in the graph
22 that are horizontal and centered between pH 8 and 9 represent
23 the type of pH that you would see in a crevice of either 316L
24 or Alloy 22 in the presence of the various buffer ions that
25 exist in the J13 groundwater.

1 And, in essence, what you see with a lot of buffer
2 capacity in the water, even though we form crevices, and even
3 though we apply a very high potential to the mouth of that
4 crevice, the pH does not suppress to any great degree.

5 Now, in contrast, if we remove those buffer ions,
6 as might be the case at high temperature, you can get almost
7 spontaneous acidification with an alloy such as 316L
8 stainless steel. And, of course, this is one of the reasons
9 that we're using a much superior material, Alloy 22, as the
10 waste package wall.

11 If you look at the curved line that is labelled
12 Alloy 22 in 4M or sodium chloride, this shows that even with
13 essentially a saturated chloride environment, no buffer ion
14 present, and a very high applied potential, let's say 400
15 millivolts, which is probably the highest that one could ever
16 imagine, the pH suppression is only 6.

17 So, frankly, even with the crevices, with a
18 material like Alloy 22, which remains passive, it seems that
19 the crevice environment will in itself be fairly benign.
20 This, of course, is good for us.

21 Another criticism that we've received in the past,
22 and I think a criticism that we've now addressed, is the fact
23 that we have not been working in the most saturated possible
24 electrolytes. We've now determined what those worst case or
25 most saturated electrolyte compositions are. One of those we

1 now term SSW for simulated saturated water, and this
2 particular electrolyte has a boiling point of around 120
3 degrees Centigrade. So we go in and run a cyclic
4 polarization curve such as this, and you can see that between
5 the corrosion potential and threshold potential 1, we
6 maintain good passivity throughout this entire region.

7 And for those of you who are familiar with the
8 cyclic polarization curves for 316L, some of which are shown
9 in the back of your package, this is very different. If this
10 were 316L, you'd see a very large excursion and current near
11 the corrosion potential due to the spontaneous pitting of the
12 316L. And, of course, we don't observe this with the Alloy
13 22. It remains passive over quite a large range of
14 potential.

15 As I mentioned before, we're having to go in and
16 measure extremely low corrosion rates. In the past, the only
17 tool that we used to address the issue of low general
18 corrosion were weight loss measurements. We have determined
19 through air analysis that as basic as these weight loss
20 measurements are, they're still quite sensitive. We can
21 measure penetration rates down to the order of 16 nanometers
22 per year with the weight loss measurements. So we can do
23 reasonably well with that.

24 But to add credibility to these general corrosion
25 rates, we're now using atomic force microscopy. This

1 basically shows two surfaces exposed in simulated acid water,
2 which is an acidified concentrated J13 water in the long-term
3 corrosion test facility for one year. And, frankly, and most
4 of these coupons, you see virtually no attack of the
5 substrate. Any morphology that you generally see is due to
6 the formation of a silicate deposit on the surface, and I
7 have a number of those images I'd be happy to share with some
8 of you at the break afterwards.

9 We're focusing most of our attention on stress
10 corrosion cracking. We don't believe that, as I said before,
11 general corrosion, or even the localized corrosion, is going
12 to be the most important mode of failure of this particular
13 waste package design.

14 Looking at the waste container in an unperturbed
15 state, there are three sources of stress that could bring
16 about stress corrosion cracking, and this is the unperturbed
17 waste package sitting underneath a nice intact drip shield.

18 First of all, there's the weight stress. That's
19 due to the mass loading of the container between two pedestal
20 supports. There's then a contact stress, which would be due
21 to some process, for example shrink fitting. And finally,
22 there's a residual weld stress. Most of you who are familiar
23 with welding realize that after you weld a material and it
24 cools, you have a very high stress left in that weld region
25 unless you take steps to mitigate that stress.

1 Now, as we look at the Method A stress corrosion
2 cracking model, and again we're approaching this in two
3 different ways, and I'm just going to show you the Method A
4 today, we base the propensity of stress corrosion cracking on
5 whether or not the stress intensity factor at the base of a
6 preexisting flaw exceeds a stress intensity threshold, K_{Isc} .

7 So in making this determination, we need two
8 things. First of all, we need a distribution of flaw sizes.
9 We need to know how a flaw is distributed, and this data
10 we're getting from John Massari. Secondly, we need to know
11 exactly what the stress is in this weld region.

12 So we've gone in at this particular point, and we
13 had used the ring core method to actually go in and quantify
14 the stress in this weld region. And, of course, you can see
15 that in an unannealed weld, we can be up close to the yield
16 stress, around 55 ksi.

17 Now, one could just take this weld stress as the
18 way it is and say we're going to have to live with it. And I
19 guess to respond to some of--I've heard some critics that
20 maybe we need to exercise somewhat more creativity, and I
21 think this is a creative solution that we're looking at for
22 complete mitigation of these weld stresses.

23 We have new laser peening technologies that we're
24 using on turbine blades, and we've now actually laser peened
25 some weld samples for Alloy 22. And the beauty of laser

1 peening, or even shot peening, for that matter, is that you
2 can introduce compressive stress over the weld, and that
3 compressive stress can completely mitigate the residual
4 tensile stress introduced during welding. And, of course, if
5 you don't have that tensile stress, there's no way to have
6 stress corrosion cracking. So we are in fact looking at some
7 new techniques like this to completely mitigate some of these
8 anticipated mode failures like stress corrosion cracking.

9 John Massari, who's in the audience, has done a
10 great deal of work in the past year to look at juvenile
11 failures in the waste package. He has conducted a very broad
12 based literature search, and he has found a number of generic
13 flaws that might be anticipated in the waste package.

14 For example, you would have welds and base metal
15 flaws. You might also have out-of-spec material in the weld
16 or base metal, improper heat treatment, surface
17 contamination, handling damage, and also other types of
18 administrative errors that could bring about problems. And
19 he also lists four flaws there that are not actually
20 anticipated in the waste package.

21 He, in looking at the literature, he looked at a
22 broad base of information. For example, he looked at data
23 having to do with boilers and pressure vessels, nuclear fuel
24 rods, radioactive Cesium capsules, dry storage casks for
25 spent nuclear fuel, and food storage cans.

1 And the interesting thing to me that came out of
2 all these studies that John did is basically, the failure
3 rates for a container that is welded shut would be expected
4 to be somewhere between 10^{-4} and 10^{-6} per container. And I
5 think that these failure rates are within the realm of
6 acceptability for the waste package performance.

7 John has also furnished us with a very nice set of
8 flaw size distributions that we're directly inputting into
9 the stress corrosion cracking model. Remember, this
10 particular mode failure model requires two inputs; one, the
11 weld stress. We've now experimentally measured that. And a
12 distribution of flaw sizes. And from the study that John has
13 done, we now fortunately have the distribution of flaw sizes
14 that we're using in the model.

15 As I mentioned to you before, one of our biggest
16 concerns when we first started looking at these extremely
17 corrosion resistant materials like Alloy 22, and frankly, one
18 of the deterrents from using these materials in the first
19 place were possible problems having to do with phase
20 stability.

21 Frankly, it's not that we thought that there would
22 be a phase stability problem, but it's known that many
23 alloys, such as 316, are in fact metastable over extremely
24 long periods of time. So when you want to use those in an
25 engineering application such as the one we have here, you

1 have to do fundamental studies to go in and assure that you
2 aren't going to precipitate out an undesirable amount of
3 phases that can cause invertilement of the material.

4 We've now aged a large number of samples. We've
5 done transmission electron microscopy, and in a nutshell,
6 we've concluded that we could hold this material for 300,000
7 years under isothermal conditions before we would have the
8 onset of any of these precipitates to form on a grain
9 boundary. So we think that this is a very positive statement
10 for the waste package material. So at this particular time,
11 we don't believe that phase stability will be an important
12 life-limiting problem with Alloy 22.

13 This is a time, temperature, transformation
14 diagram. I think many of you who are in the engineering
15 field recognize this. This is something we frequently rely
16 on in terms of deciding what ranges of temperature we can
17 work with a given material. And basically, by looking at
18 this diagram, you can conclude that, again, at 300 degrees
19 Centigrade, we should not have appreciable long-range
20 ordering or precipitation of undesirable phases, such as P or
21 Mu.

22 And I know Jim Blink explained this yesterday, but
23 the reason of course we don't want these undesirable phases
24 is if we completely decorate the grain boundaries with these,
25 the material becomes mechanically embrittled. If these

1 materials precipitate in the bulk, they tend to be rich in
2 tungsten and molybdenum, which are the two alloying elements
3 that are responsible for the tremendous passivation of this
4 material.

5 So if you form these precipitates that are rich in
6 tungsten and molybdenum, you deplete those alloying elements
7 adjacent to those particles, and you might potentially open
8 up a pathway for a localized attack. So fortunately in our
9 case, it would take, you know, many times longer than the
10 life of the repository to achieve those conditions, 300,000
11 years.

12 We are putting all of these various waste package
13 models into reports that have gone under various names in the
14 past six months. But I think at the present time, they're
15 called ARs, if I'm not mistaken. I think those are analysis
16 reports. They were analysis model reports at one point. But
17 at any rate, these reports summarize the models that we're
18 using to assess waste package performance. And I won't go to
19 the trouble to read all of these for you, but you can see the
20 large number of these analysis reports that we're preparing
21 right now. Many of them are nearing completion, and we are
22 pulling them all into one collective report called a process
23 model report that will be used as one of the basis documents
24 for site recommendation.

25 Let me see, there are a number of other important

1 issues that we have to deal with. First of all, I think we
2 have to realize that in the last year, we've come up with
3 actually a very good design, but it's a new design and it has
4 some new materials in it. And for this reason, I think we
5 have to realize that we don't have as much data with some of
6 these new materials that have recently been introduced as
7 some of the materials, such as Alloy 22, materials that have
8 been in the program historically.

9 So, frankly, we're probably going to need to
10 acquire some more data to give a more solid foundation to the
11 models that we're developing.

12 There's some uncertainty because of the fabrication
13 processes, and the TSPA/VA design, when we did the shrink
14 fit, the shrink fitting operation actually introduced
15 compressive stress into the Alloy 22. If we do the same
16 shrink fit operation in this particular design, the stress
17 that's introduced into the Alloy 22 is actually tensile, and
18 might conceivably contribute to something like stress
19 corrosion cracking.

20 So I know that many of the engineers in the program
21 are looking at exactly how we pursue these various
22 fabrication processes to make sure that we don't
23 inadvertently introduce problems into the design as we seek
24 to improve it.

25 And, of course as I've shown you, we have other

1 techniques available to us now, such as laser peening, where
2 we can mitigate weld stress.

3 There are other issues having to do with the
4 modeling itself. For example, in one particular area of most
5 concern to us now, stress corrosion cracking, we have two
6 competing models, so one is faced with an academic argument
7 of which model is better. Frankly, rather than try to answer
8 that question, we've decided that we will probably pursue
9 both of these models in parallel, and do an assessment with
10 both models more or less as a type of sensitivity analysis.
11 So hopefully in the future, you will see an assessment of the
12 container based upon these two competing methodologies for
13 assessing stress corrosion cracking.

14 We at the present time have given much
15 consideration and done a lot of experimental work on
16 microbial induced corrosion. We know that sulfate reducing
17 bacteria can produce sulfide, and sulfide might exacerbate
18 stress corrosion cracking. We have not yet quantified this
19 model, but are going to strive to do that in the future.

20 Other effects that I think in the past have been
21 assumed fairly minimal, and I think, in all fairness, are
22 probably still not very significant, are probably the effects
23 of gamma radiolysis. There have been various versions of the
24 newer designs where the gamma field was quite high, and in
25 those cases, we would have had to account for the anodic

1 shifts in the corrosion potential due to the formation of
2 hydrogen peroxide. But I think in the EDA II design in its
3 current incarnation, I don't perceive that as a problem, but
4 we are undertaking a strategy to deal with issues such as
5 gamma radiolysis and the impact on the corrosion potential.

6 And in summary, we of course have picked materials
7 that have very, very long lifetimes. In order to assure
8 public safety in dealing with these materials, we have to
9 make very small penetration rate measurements, and we have to
10 do these with a high degree of accuracy. In order to make
11 these measurements, we're using a number of cutting edge
12 tools, as I've shown you, such as atomic force microscopy.

13 We're also trying to develop models that have a
14 sound scientific basis for site recommendation and license
15 application. A number of these models have been developed
16 and are going to be used as a basis for performance
17 assessment. These include general and localized corrosion,
18 stress corrosion cracking, juvenile failure and phase
19 stability.

20 And, finally, to reiterate our preliminary
21 conclusions, we don't believe that there will be any
22 significant localized corrosion. As you see, the conditions
23 in the crevices, will probably be quite benign. The life
24 should not be limited by general corrosion. And we've also
25 seen at this point that it looks like phase stability is not

1 going to be a life limiting issue either. We're at the
2 present time focusing our attention on the stress corrosion
3 cracking, and hopefully by the next time that the Board
4 meets, we'll have some good things to say about that.

5 SAGÜÉS: Thank you very much, Joe. Let's see if we have
6 some questions from Board members. Dr. Bullen?

7 BULLEN: Bullen, Board. Joe, actually I've got three
8 questions. The first one actually comes back to your last
9 point on gamma radiolysis where you make a point that you're
10 going to repeat the gamma pit studies for Alloy 22 and Grade
11 7 titanium. Are those gamma pit studies open system or
12 closed system?

13 FARMER: When you talk about open system or closed
14 system, you're talking about the electrochemical cell?

15 BULLEN: Well, actually, I'm not interested in the
16 potential changes. I'm actually interested in the production
17 of the products, and in an open system--

18 FARMER: Nitric acid.

19 BULLEN: Well, in that case, nitrites, and then the
20 potential for the formation of nitric acid in the right
21 environment. And I guess the question that I have is in an
22 open system, and to be honest, I'm not really concerned about
23 radiolysis effects on the waste package. I'm interested in
24 radiolysis effects on the structural components in the near-
25 field environment. Is there any effort to take a look at

1 that?

2 FARMER: Frankly, I think the general assumption has
3 been that the gamma radiolysis is insufficient to cause any
4 significant defects in the material. If it was neutron
5 radiation, it would be a different issue. But with the gamma
6 radiation, I think that most of the impact we'll see will be
7 on the environment. The gamma field will couple with the
8 environment, and then that will couple with the material
9 itself.

10 BULLEN: Right. And the concern that I have is in an
11 open system, if you take a look at an unlimited amount of
12 water vapor and an unlimited amount of nitrogen in the air,
13 then what I've got is the potential over the 300 years or so
14 that the Cesium and Strontium are giving us the big gamma
15 doses, to produce radiolysis products that probably won't
16 affect the waste package, because even with the potentials
17 that you're going to get, and the acidification of the near
18 surface, it's not a problem. But if it moves to other
19 locations and actually condenses in cool spots in the
20 repository, that's where you end up with the problem.

21 FARMER: I think the experimental limitations are that
22 the studies will be just--we did these studies in the mid
23 Eighties, as you remember.

24 BULLEN: Right. These are the Bob Glass studies?

25 FARMER: Right, the Bob Glass experiments.

1 BULLEN: Okay.

2 FARMER: And, of course, Kim Jin Young at General
3 Electric, he's doing those types of studies at the current
4 time, same type of apparatus. And just because of the
5 practical limitations of the experiment, you wind up doing
6 these in a closed electrochemical cell.

7 BULLEN: Right. You might want to consider in the far
8 term, or at least addressing the issue of an open system and
9 the potential production, particularly in light of the fact
10 that the Shoesmith studies results are mostly closed system.
11 They're looking at brines, they're looking at anoxic
12 environments, and it's not what we have. And so the concern
13 that I have is that you're really going to have something
14 like the Climax Mine effect, where in the heater holes, it
15 didn't rust, and in the waste holes, it rusted.

16 FARMER: Yeah.

17 BULLEN: And I think something of that magnitude might
18 be important, particularly replacing the concrete liner with
19 steel sets and rock bolts, is going to give us a potential
20 for accelerated degradation and a very high radiation field
21 environment. Of course, you could make that radiation field
22 environment go away if you made your waste package a little
23 thicker, but that's not anything that I'd want to suggest.

24 FARMER: Yeah. I think in terms of modeling, you know,
25 the gamma radiolysis, one thing we'd have to do for an open

1 system is you'd probably run a closed system experiment where
2 you would measure the accumulation of hydrogen peroxide and
3 corrosion potential, and then you would probably construct
4 something like, you know, the standard chemical engineering
5 stir tank reactor model.

6 BULLEN: Yes.

7 FARMER: Where you basically have in-flow/out-flow and
8 you've got a simple first order ordinary differential
9 equation you can solve to calculate the build-up of those
10 species.

11 BULLEN: That would be a great model to set up, because
12 then you could tell me in a quantitative sense over 300
13 years, what's the cumulative amount of bad actors you're
14 going to make.

15 FARMER: Okay.

16 BULLEN: And then that would be something that's, you
17 know, readily doable and you could say, well, we've got a
18 whole lot or we don't have very much, and maybe work from
19 there as to address the issue.

20 The other thing is you could do that effect with
21 varying dose rates. I mean, the dose rates of a few hundred
22 r/hour, to depending on the waste packages that you talked
23 about, if you get to 10 to the 3rd r/hour, you get into some
24 really exciting areas of radiation production.

25 Can I change gears here and ask another question?

1 Could you put Number 16 back up, please?

2 FARMER: Okay.

3 BULLEN: It's the TTT diagram. You've got a not yet
4 sampled box on sort of the 350 degree C. range there where
5 you're looking at the purple curve on the far right. Are
6 those data points going to be filled in any time soon?

7 FARMER: Actually, this is an old viewgraph. Those data
8 points are filled in, and I think the TTT diagram has not
9 changed very much.

10 BULLEN: Okay. So you actually have the boundary there
11 for the Mu phase formation?

12 FARMER: Yeah. You know, this is a fluid and dynamic
13 program and sometimes the viewgraphs come off the printer
14 before the data gets filled in.

15 BULLEN: Ah, before the data are available. Okay. So
16 you're pretty confident that at the 350 degree C. range,
17 you've kind of turned the corner and you're not exponentially
18 going down any more?

19 I guess the question that I have, and you always
20 ask this on a TTT diagram, is if I wait long enough, can I
21 still get it? And if I have a couple hundred years at 200
22 degree C., am I going to be in the range where I've got some
23 Mu phase formation at the grain boundaries that might give us
24 some problems?

25 FARMER: We've done two calculations. For example, it's

1 very easy when you look at the micrographs, this actually is
2 Tammy Summers' data, as I know most of you are aware, but as
3 Tammy looks at the micrographs, it's very easy to see the
4 point at which the grain boundaries are fully decorated with
5 these precipitates. You know, it's like Christmas
6 decorations. It's actually very pretty. It's a little
7 frightening, but pretty.

8 And then the harder thing to spot is the onset of
9 that precipitation process. Of course, from a design
10 performance point of view, we're not so interested as to when
11 that ultimate precipitation occurs. We're more interested in
12 the onset. So it turns out that through a mixture of
13 techniques, both transmission electron microscopy and
14 interestingly enough, just electrochemical measurements, you
15 can actually see at what point that precipitation process
16 begins. It's just like using an EPR or some of the
17 electrochemical techniques to detect M23 C6 carbides and
18 sensitized stainless steels.

19 So, in essence, I think Tammy is using this
20 particular technique. She's using electrochemistry coupled
21 with both the transmission electron microscopy, electron beam
22 diffraction, and the SEM. And she's marrying those together
23 to pinpoint the onset of that grain boundary precipitation.

24 BULLEN: Well, as with any kinetic process, you get a
25 lot more confident if the temperature goes lower, that it's

1 probably not going to happen. And so if the waste package
2 temperature never got above 150 or 200 degrees C., you're
3 really confident that you'll never get the Mu phase?

4 FARMER: Well, I think you're getting into model and the
5 issues of model uncertainty, and I'd say that the biggest
6 thing that we're concerned about now with the phase stability
7 modeling is reducing uncertainty, and I think that probably
8 is true across the board. But I would say based upon Tammy's
9 preliminary calculations with the model she has in place at
10 this point, the indication is that, you know, and this is
11 holding the waste package isothermal, that means that it
12 doesn't go through a pulse, but it stays there for a long,
13 long time, 300,000 years, to get the onset of precipitation.

14 BULLEN: At what temperature?

15 FARMER: 300 degrees Centigrade.

16 BULLEN: Okay.

17 FARMER: So 300,000 years at 300 degrees Centigrade.
18 And you'll notice yesterday when Jim Blink gave the
19 presentation, I think that some of the temperatures selected
20 in the LADS process were not entirely coincidental. I think
21 the folks who went through that process, I think they
22 obviously had the cladding temperature limit of 350 degrees
23 Centigrade in mind, but they were also trying to keep the
24 temperature on the waste package materials down as well,
25 because, you know, a low temperature benefits you in many,

1 many ways.

2 BULLEN: And actually I would agree with that
3 wholeheartedly, and the only concern that I have is that if
4 you've nucleated this during the weld process, that you may
5 actually want to stay cooler so that you can buy yourself
6 some more time. And what level of coolness you ascribe to,
7 whether it's the Board's, let's not boil it, or if it's
8 something a little higher than that, I think the lower the
9 temperature, the better off you are.

10 Now, one last quick question and then I'll be done.
11 I promise.

12 COHON: Dan? Dan, wait a minute. Could I just jump in
13 for a minute while you're talking about this?

14 BULLEN: Yes, Jerry, any time.

15 COHON: This is a question from the real world as
16 opposed to you experts on this stuff. I'm trying desperately
17 to understand this because it sounds like it's very important
18 and goes directly to the life and performance of the waste
19 package.

20 How many orders of magnitude, looking at this
21 diagram, are you going out to the right from data that I'm
22 presuming those dots represent?

23 FARMER: Well, obviously quite a few orders of
24 magnitude. And, frankly, this data, this is more or less a
25 map of the data points that we have. So at this particular

1 point, you know, we have samples that have been aged up to
2 40,000, 50,000, 60,000 hours, five years, and those are about
3 the longest data points that we have.

4 What we do is we take a whole array of those
5 samples, and interestingly enough, in terms of reducing model
6 uncertainty, I didn't believe it until it was proven to me,
7 but in terms of increasing the certainty in this TTT diagram,
8 some of the data points at high temperature and low time
9 actually are heavily weighted in terms of reducing model
10 uncertainty, you know, the point where you can actually
11 determine the nose of those curves in the TTT diagram.

12 But they basically take these samples that have
13 been aged five years, and some that have been aged for
14 shorter periods of time, and they build Arrhenius rate
15 expressions. And by looking at those samples and determining
16 the volume fraction of Mu or P phase, or the combination of
17 all of those phases, are precipitated on the grain
18 boundaries. You can actually develop kinetic rate
19 expressions. You can determine the uncertainty in those
20 model parameters, and you can extrapolate those out to a long
21 time, and that's been done.

22 I would have to say that I believe that, for
23 example, if we say that the life of the waste package based
24 on phase stability is 300,000 years, we're probably saying
25 that it's probably somewhere between 30,000 and 3 million.

1 But the point is at 300,000 years, you have quite a good
2 margin.

3 Now, if we were telling you that the waste package
4 lifetime was 10,500 years, you know, it would be somewhat
5 more squeamish.

6 COHON: 30,000 to 3 million based on order of ten years
7 of data?

8 FARMER: Correct.

9 COHON: Okay.

10 FARMER: And unfortunately, in our finite lifetimes,
11 that's probably about as well as we can do as human beings.

12 SAGÜÉS: Since I'm the Chair, I'm going to take
13 advantage of that. Of course in any of these things whenever
14 you're getting to an Arrhenius extrapolation, you're doing
15 that in conjunction with some kind of a nucleation and growth
16 model for the precipitates.

17 FARMER: Correct.

18 SAGÜÉS: And that model has thermal dynamic assumptions,
19 and it has assumptions as to in which regimes the phases can
20 grow up and they cannot grow as well; right?

21 FARMER: Right.

22 SAGÜÉS: So that is more than just simply--I mean, the
23 Arrhenius extrapolation is, by itself, an assumption.

24 FARMER: That's correct. You can have changes from one
25 mechanism to another. You know, you would get a

1 discontinuity in the extrapolation line.

2 I would tell you, for those of you who are familiar
3 with modeling of metallurgy, we have two codes that we're now
4 using. We've calculated the phase diagram with a code called
5 THERMOCALC. That was prepared by Dr. Larry Coffman at MIT.
6 He's working in collaboration with Patrice Turchi at
7 Livermore. I think these two folks are probably worldwide,
8 probably just about two of the best experts in terms of doing
9 these types of solid state thermodynamic calculations. So
10 they're working on the modeling of a phase diagram.

11 We're also using another code called DICTRA, which
12 can in fact account for some of these more subtle changes in
13 mechanism. And aside from that, I probably can't give you a
14 better answer at this particular point.

15 SAGÜÉS: Very good. Are you finished?

16 BULLEN: One last quick question. Bullen, Board.

17 Back to the laser peening, I'm just curious as to
18 how, when you do laser peening of the closure wall, and you
19 say you can do multiple passes and actually get the
20 compressive strength?

21 FARMER: Correct.

22 BULLEN: How deeply can you go, and have you considered
23 the fact that ultimately, you've got this oxidation or
24 corrosion that's going to take place, and so can you
25 completely mitigate the yield strength, or the yield stresses

1 that are in the weld, or do you only have a surface effect,
2 and how deep is this?

3 FARMER: I don't think you can completely mitigate the
4 weld stress. I think most importantly, you can probably
5 completely mitigate the weld stress at the surface. And if
6 you'll look back at Slide Number 11, these are some laser
7 peening data collected at Livermore for 4340 steel, and I
8 have to apologize, we did this with a different material.
9 Now we have data for Alloy 22. We don't have it plotted, but
10 hopefully at some point in the future, we'll be able to share
11 that with you. But what you see from this diagram is that
12 you can do multiple pass laser peening. In essence, they set
13 the, if it's a circumferential weld, they set it on like a
14 turntable and rotate it, and you actually have--it's a very
15 interesting process. You take a Q-switch laser and you zap
16 the surface of this weld, and every pulse they hit the waste
17 package with, you have to have black electrical tape, you
18 know--

19 BULLEN: Uh-huh.

20 FARMER: Of course these metals are reflective surfaces
21 and you don't get much light absorption. So what they do as
22 a tamper, they use black electrical tape wrapped around the
23 weld, and then they spray water on that black electrical tape
24 to cool the waste package. So when the laser beam hits the
25 black electrical tape, it turns the electrical tape into a

1 plasma, if you will. That plasma couples with the water.
2 The water is keeping the base temperature of the metal cool,
3 but it's also helping probably form a steam bubble. And that
4 sends an acoustic pulse into the material that dries it into
5 plasticity.

6 And, in fact, I think we took one sample back to
7 DOE and showed some folks there, but you could actually see--
8 you see the little pock marks all in the Alloy 22 surface
9 around the whole weld. So it's amazing that, you know, light
10 beam could do such a thing.

11 BULLEN: In the process of your modeling of stress
12 corrosion cracking, can you use the corrosion rate, so that
13 after I've basically corroded away the surface that I've
14 affected, I switch on to SCC model, and so if it takes me a
15 thousand years or 10,000 years to get rid of 50 mils of the
16 outer surface, then I actually have the underlying residual
17 stresses that would be available to switch on an SCC model
18 then?

19 FARMER: Exactly. That's exactly what we're trying to
20 do. I know that June has set up, or he's in the process of
21 getting his model set up to do that exact thing. So as he
22 iterates through the cycle, he'll probably, every iteration,
23 he'll do an inspection to see if stress corrosion cracking is
24 a problem. And if we introduce laser peening, we'll know
25 that we've mitigated the stress down to a certain depth, and

1 then after we've penetrated beyond that mitigated depth, then
2 you turn on stress corrosion cracking.

3 BULLEN: Thanks, Dr. Farmer.

4 SAGÜÉS: Very good. The next question is from Don
5 Runnells.

6 RUNNELLS: Don Runnells, Board. Just as an aside, I'm
7 interested to hear you're using black electrical tape. I
8 think when you reach the level of using duct tape, the
9 program will have really arrived.

10 FARMER: Well, I can tell you in my lab, we're there.

11 RUNNELLS: Okay. I'm not surprised.

12 I have a couple questions about Diagram Number 5.
13 Let me ask first about the pH, the crevice pH. You made the
14 point that the potential at the crevice mouth of about 400
15 millivolts versus silver/silver chloride produces a pH of
16 about 6 or so, 6 1/2.

17 FARMER: That's the worst case probably.

18 RUNNELLS: Right; in Alloy 22. Even with high
19 electrolyte, even with sodium chloride?

20 FARMER: Right.

21 RUNNELLS: Now, you don't have to pull up the diagram,
22 but in the back of your packet, Diagram 34, you show a pH for
23 the inside of the crevice--

24 FARMER: Well, actually let me--you may be
25 misinterpreting. When I say crevice pH here, the pHs plotted

1 in Number 5 are in fact the pH inside the crevice.

2 RUNNELLS: But on Diagram 34, maybe we will have to pull
3 it up then, at 400 millivolts, I guess I'm seeing a pH of 4
4 or so.

5 FARMER: In that one, let me see, I look--

6 RUNNELLS: So I'm trying to understand the--

7 FARMER: No, actually I look at that one--maybe I could
8 point it out.

9 RUNNELLS: Or even 3 1/2.

10 FARMER: At any rate, we have 400 millivolts at this
11 particular point. So in this experiment, the reason I put
12 this in the packages, in a lot of the experiments we would
13 set at a fixed potential and let the crevice sit there for a
14 week, two weeks, some very long period of time. I like this
15 experiment because we basically did steps of potentials so
16 you can see sort of how the pH steps down as we increase the
17 potential at the crevice mouth. And here at 400 millivolts,
18 you can see that the pH inside the crevice is around 6, and I
19 think that's more or less consistent.

20 RUNNELLS: Okay. I need to use the left-hand side.

21 FARMER: The blue one is right outside the mouth.

22 RUNNELLS: Thank you. So that is consistent.

23 Let me ask you a question, though, about the
24 interpretation in Figure 5 again, if we could go back to
25 that. And it concerns the chemistry of the water and the

1 chemistry of J13 water. You made the point that with the
2 upper two lines in Figure 5, Alloy 22 was in saturated
3 chloride water; is that correct?

4 FARMER: Correct.

5 RUNNELLS: And in 4M, NaCl, with buffer ions, even under
6 those severe conditions, if you have the buffer ions in the
7 water, your pH is maintained at a fairly high value.

8 FARMER: Right. That's what we observed.

9 RUNNELLS: Right. Now, on the right-hand side of the
10 diagram, you say the buffer ions precipitate at elevated
11 temperature.

12 FARMER: That's correct.

13 RUNNELLS: Now, can you explain to me what happens--what
14 connection is there between the precipitation of the buffer
15 ions and that pH that requires the buffer ions dissolve in
16 water? In other words, if the buffer ions precipitate at
17 elevated temperature, does that pH that we see there as being
18 very favorable, a pH of 8, does it change at elevated
19 temperature when the buffer ions precipitate?

20 FARMER: Well, it can. I mean, the first thing to point
21 out here is we are making an assumption about what happens
22 at--we'll not we're making an assumption, but we know that
23 the buffer ions precipitate out at elevated temperature.

24 RUNNELLS: Right.

25 FARMER: All these data are for ambient temperature. we

1 now have some data and are collecting more at high
2 temperature. Frankly, making these in situ crevice pH
3 measurements is sort of a new thing in its own right, so we
4 did the easiest measurements first, which were at ambient
5 temperature, and now we're doing a high temperature. But the
6 reason that we gave this curve with saturated chloride and
7 this curve with buffer is the realization that reality will
8 fall somewhere between those two limits. You can think of it
9 as two bounding curves, if you will.

10 And, in fact, this particular point here, we took
11 and mixed 4 molar sodium chloride, so we basically have used
12 SCW with 4 molar, or enough sodium chloride to make 4 molar
13 solution, dumped into it. And basically what you can see is
14 that as you move somewhere between the simulated concentrated
15 well water and the 4 molar chloride, the pH moves between
16 these two limits. So that's actually what you see with this
17 particular single point.

18 RUNNELLS: Okay. So I think what you're saying then is
19 the extrapolation of elevated temperature, you'd expect the
20 pH, the crevice pHs, to be somewhere between those two sets
21 of lines.

22 FARMER: That's what I would expect, and we've done
23 measurements up around 85 degrees C., and that is true.

24 RUNNELLS: Okay. One last question then on this
25 diagram. What role, if any, do the minor components that may

1 be present in the water, the interstitial water, if you like,
2 in the unsaturated zone play in the corrosion pH, the
3 corrosion potential? I'm thinking particularly of things
4 like fluoride and nitrate that may be present in the water in
5 very small amounts, but may be important for corrosion. Have
6 you investigated that at all?

7 FARMER: We have. We have a whole ensemble of test
8 media that we have right now. There's the simulated dilute
9 water, a simulated acid water, simulated concentrated water,
10 simulated saturated water, and some other variants on those,
11 plus these concentrated electrolytes--or these saturated
12 electrolytes we use. So from that, we can look at those and
13 infer at least first order to what impact ionic strength
14 affects corrosion, and for example, the presence or absence
15 of things like fluoride.

16 So the quickest answer to that question is just to
17 tell you that in a long-term corrosion test facility, after
18 exposing these things for two years, there's no evidence of
19 crevice attack, there's no evidence of stress corrosion
20 cracking, and there is virtually undetectable general
21 corrosion, though we see some silicate deposit on the
22 surface. And I can show you some of the x-ray diffraction
23 results.

24 RUNNELLS: But that's favorable.

25 FARMER: That's very favorable.

1 RUNNELLS: So just in a nutshell then, you're saying
2 even in the long-term tests that you've run in the presence
3 or with trace amounts of fluoride and nitrate, you're still
4 seeing no unexpected or accelerated corrosion; is that
5 correct?

6 FARMER: That would be my conclusion.

7 RUNNELLS: Okay, thank you.

8 SAGÜÉS: Okay, very good. Quickly, on this figure, what
9 happened--your crevices there, the tightest ones are about
10 .11 millimeters.

11 FARMER: Yeah, I think 110 microns; right, .11
12 millimeters.

13 SAGÜÉS: What would happen if you would make the crevice
14 either tighter or deeper? Wouldn't then that tend to bend
15 down to separate curves?

16 FARMER: Theoretically, you would expect somewhat more
17 pH suppression in a tighter crevice. I think the biggest
18 effect we see in these particular experiments is whether or
19 not you passivate the alloy being used to form the crevice.

20 For example, we could get some fairly modest
21 suppression of pH, and in fact, if you'd like to see them, I
22 have some photographs where we can show you how the surface
23 actually breaks down.

24 SAGÜÉS: We can look at those later. It was just a
25 quick comment because we have a couple of other questions.

1 FARMER: Okay. Tighter crevices theoretically give you
2 lower pH. Frankly, here between 540 microns and 110 microns,
3 you don't see much effect. We could probably cut this
4 crevice size by another factor of two for kind of a more
5 typical crevice dimension. It's probably not going to
6 suppress the pH a lot more. And, of course, this is based
7 upon what we observed, not theoretical, because you get a
8 larger potential, you know, as you constrict the current
9 path, the potential drop becomes greater, the electric field
10 becomes greater, and you pump more chloride in and the pH
11 goes lower.

12 SAGÜÉS: Thank you. We have a question from Debra
13 Knopman.

14 KNOPMAN: Knopman, Board. I'm not an expert in this
15 area by any stretch. Let me ask a very general kind of
16 question. If you had to rank the three primary materials
17 that are going to be used in the waste package and the
18 engineered barrier system, A 22, titanium, stainless steel,
19 rank them in terms of your confidence in your ability to make
20 long-term predictions based on current knowledge of materials
21 behavior at the 10,000 year time frame and then 100,000 year
22 time frame, how would you--

23 FARMER: Well, I would, at this particular point, I'd
24 rank C-22 first. We've had it in the program the longest.
25 You know, we're pretty far along with the phase stability

1 studies. I think, you know, people know a lot about 316L
2 stainless steel, but only on time frames of 10 to 20 years,
3 maybe 30, 40 years. But, you know, once you get into these
4 really long periods of time, you have the same phase
5 stability issues with the 300 series stainless steel that you
6 have with Alloy 22.

7 So I'd tell you right now, Alloy 22 would be first.
8 I would probably, as long as we don't galvanically couple
9 the titanium drip shield to something like carbon steel, and
10 I think the designers went to great lengths to make sure that
11 this was not done, I think titanium would probably be the
12 second because, you know, its only failure mode is general
13 corrosion. It's a very easy thing to understand and model,
14 relatively speaking.

15 And, finally, in terms of predictability, I would
16 make the 316L, it's a great structural material, and that's
17 why we picked it, and we're not claiming any performance
18 based on corrosion resistance, and that's not saying that it
19 isn't going to perform well, but it has a very--its pitting
20 potential and corrosion potential are very close together.

21 If you could go over to Slide Number--it's beyond
22 Number 20, but I'll show you just an example. This is a
23 cyclic polarization curve for the 316L in the simulated
24 saturated water, but here only at 100 degrees Centigrade.
25 And, of course, the reason that we aren't using 316L as the

1 outer barrier of the waste package is notice here, you get
2 this great current excursion. This is due to very aggressive
3 pitting of the 316L.

4 And if you recall from the curve for the Alloy 22,
5 this was just a flat passive region. So there's no evidence
6 at all of pitting of the Alloy 22, but in the case of the
7 316, you know, the place where you have pitting occur
8 potential-wise is quite close to the corrosion potential, and
9 that introduces a lot of uncertainty and would make it
10 probably somewhat difficult to predict the long-term
11 performance of this material.

12 The beauty of the 22 is that, you know, the
13 repassivation potential or the threshold potentials are out
14 close to oxygen evolution, and well removed from the
15 corrosion potential, which is where the system sits at
16 equilibrium.

17 SAGÜÉS: Okay, I'm going--yes, if we can have a quick
18 question from Paul Craig, we have a couple of additional
19 questions from the audience.

20 CRAIG: Craig, Board. First of all, Joe, I'm just
21 amazed at how much progress you've made in the last year with
22 your course microscope and the crevice work is very, very
23 impressive.

24 FARMER: Thank you.

25 CRAIG: I want to jump a little outside the

1 presentation, and we're now going to two metals, titanium,
2 mailboxes, drip shields, and the C-22, and what I'd like to
3 ask you to do is to help us to think about the problem of
4 common mode failures between those two. Are there concerns,
5 and if not, why not?

6 FARMER: I guess in my mind, I think that you have, by
7 having a--if you had, let's say, an Alloy 22 drip shield and
8 an Alloy 22 waste package, I would have been concerned in
9 terms of arguing defense in depth error, because if you
10 develop some long-term environment in the repository that,
11 let's say, brought about stress corrosion cracking of the
12 drip shield, it would also bring about stress corrosion
13 cracking of the waste package.

14 The fact that we have now picked titanium and Alloy
15 22, something that we might worry about with Alloy 22 is--I
16 don't think this is going to occur, but if I wanted to start
17 playing what if, I would say, well, what if we have a lot of
18 sulfate reducing bacteria, we form sulfides. Well, that is
19 fairly aggressive to C-22, or can be under the right
20 conditions, but not to the titanium.

21 So I think the fact that we have these two
22 different materials placed apart, as they are, I think that
23 does, to some extent, give you defense in depth. Things that
24 I would expect to bring about a mode of failure in one
25 material do not necessarily bring about a similar mode of

1 failure in the other material.

2 In terms of--it depends on what you also define as
3 common mode failure. I think there was some interest in
4 trying to model the corrosion of the drip shield initially so
5 that we would be opening up patches or holes in the drip
6 shield, and this would form areas where water would sort of,
7 you know, drip like a leaky roof onto the waste package. I
8 think in reality the corrosion rates of the titanium are so
9 slow, I personally would doubt that you're going to get any
10 patches like that to open up on the waste package over the
11 repository lifetimes.

12 What you might have happen, though, is you have
13 these drip shields butt to butt, you know, end to end, so if
14 you had ground movement and you somehow displaced those drip
15 shields so that you open up one of those junction points so
16 that you could get water coming through, I think that, if you
17 said that that was a failure in the drip shield, the water
18 dripping on the waste package underneath, you might view that
19 as some type of a common mode failure, because the failure in
20 one has somehow influenced the failure of what's directly
21 underneath it.

22 SAGÜÉS: Joe, if I may, if it's all right with you,
23 Paul, I would like to address a couple of questions that were
24 given to me from the audience. We have been able to address
25 quite a bit in this issue. But very quickly, if you could

1 give a very brief answer to both, one of the questions is
2 have you or are you planning to look at the effects of
3 radiation induced segregation on phase stability?

4 FARMER: I honestly have to say we have not proposed to
5 do that. For the most part, I think we felt that the neutron
6 dose for the Alloy 22 is so low that it's not necessary.
7 It's an excellent question you ask, and I think we need to
8 come up with a good technical basis for either doing that or
9 not doing it, and we haven't done that. That's a good
10 suggestion.

11 SAGÜÉS: Thank you. And the second question from the
12 audience is a more general question. What effect will the
13 heat from the high-level waste have on corrosion of the waste
14 package? And are there any tests planned? This is from
15 Sally Devlin.

16 FARMER: Yeah, the temperature of course will or could
17 impact the corrosion rate of the waste package. For those of
18 you who have had the opportunity to visit the project's long-
19 term corrosion test facility, you'll remember of course, you
20 know, we test at two different temperature levels, 60 and 90
21 degrees Centigrade. With the advent of these new test media
22 like the SSW that boils at 120 degrees Centigrade, we're
23 probably in the future going to be bringing along tests at
24 higher temperature. So it's a good question. Temperature is
25 important.

1 Frankly, though, the general corrosion rates of
2 these materials are so low that they're almost below the
3 detection limit. So I would say even though there is a
4 theoretical temperature dependence there, it's probably not
5 going to push us into an area that we would be overly
6 concerned about.

7 SAGÜÉS: Thank you very much, Joe. We're exactly on
8 schedule.

9 FARMER: Thank you.

10 SAGÜÉS: So we're going to go straight to the next
11 presentation.

12 The next presentation is an overview of future
13 Yucca Mountain project total systems performance assessment
14 modeling plans, and this presentation is by Mark Tynan from
15 the Yucca Mountain Project Office of Project Execution, U. S.
16 Department of Energy. Mr. Tynan?

17 TYNAN: Good morning. The title of the presentation is
18 an overview of the performance assessment modeling plans.
19 But before I launch into that, just a brief I'd like to
20 acknowledge Holly Dockery for helping put this talk together,
21 and Bob Andrews and the PA team, I'd like to compliment them
22 for the demonstration of excellence during the past year and
23 perseverance and leadership in the development of workshops
24 that are trying to assure integration in the program.

25 There's a quote from Huxley that says "The great

1 tragedy of science is the slaying of a beautiful hypothesis
2 by an ugly fact." And the PA people have attempted very hard
3 this year to eliminate those ugly facts by assuring
4 integration with design throughout the year and in the work
5 that they're doing, and I'll lay out how they will be brought
6 into the program, and leading parts of the efforts to assure
7 integration, and to make sure we don't run into ugly facts.

8 The overview for the presentation is a look at the
9 major drivers for TSPA LA and SR, key findings of the Peer
10 Review Panel Report, and some of the NRC comments. NWTRB,
11 since you're here, you know what your comments are, but you
12 asked for us to look at those.

13 Philosophy and scope of the TSPA SR/LA iterations,
14 and the PMRs and the AMRs, and we'll introduce what those
15 are, if it hasn't been done already for you, with process
16 model reports and the analysis model reports; the
17 implications of the design changes to the TSPA program, and
18 the schedules, finally, for production of our products.

19 Programmatic and regulatory drivers for TSPA SR/LA
20 will be that the work to be performed in compliance with the
21 governing procedures and requirements, responsive to review
22 comments on the VA, and implementation of the proposed EPA
23 standards, NRC regulatory requirements, and the DOE
24 guidelines. We will look at the NRC issue resolution status
25 reports acceptance criteria that will be rewritten into the

1 NRC Yucca Mountain Review Plan. So the NRC is evolving their
2 strategies for us to demonstrate compliance in the final
3 products.

4 Major technical drivers for TSPA LA is the
5 interpretation of the TSPA VA results, and addressing the
6 comments from the various groups, changes in the repository
7 and waste package designs that we've looked at in the past
8 day, and also the changes that will be made to the process
9 models, updating those that were used in the VA. And then
10 we'll attempt to focus on key information to complete the
11 postclosure safety case.

12 Key findings of the PA Peer Review Panel on TSPA VA
13 would be the first major area you asked us to address, and
14 the panel said that they had different objectives for VA and
15 SR, but they're exactly the same, but different.

16 The intent of Congress for the VA was that show
17 that the site performance would meet existing standards. And
18 the objectives for SR and LA is that we can show with
19 reasonable assurance that the repository complies with
20 regulatory requirements.

21 The use of simplified bounding analyses may be
22 necessary to achieve the desired level of confidence was one
23 of the main points of the panel, and will demonstrate that
24 we're making a shift in some areas to use bounding analyses
25 because they are necessary.

1 "For cases in which it is feasible to improve
2 either the component models or their underlying data, the
3 Panel recommends that efforts be made to implement such
4 improvements wherever such changes would affect the overall
5 assessment." And we're doing a comprehensive look at that
6 internally at the process models and their updates, the
7 inputs that we have to make changes to those process models,
8 and to examine very carefully what does have a significant
9 impact on the overall performance, and then we can focus our
10 work in those areas.

11 "Where conservative bounding analyses do not result
12 in unduly pessimistic estimates of the total system
13 performance, the Panel recognizes that it may not be cost-
14 effective to spend additional time and effort refining those
15 assessments and making them more realistic." So I'm pleased
16 to see that they recognize there are diminishing returns on
17 some of the investments we've been asked to make in the past.

18 "For those issues for which, by virtue of their
19 complexity, it is not feasible to produce more realistic
20 models supported by data, the Panel recommends that a
21 combination of bounding analyses and design changes be
22 applied." And I think the program is demonstrating
23 responsiveness to those comments, with the design changes
24 that you'll see and the approach that we'll take in PA for
25 the assessment.

1 Comments on the TSPA VA from the NRC staff were in
2 some regards very similar to those that came from the Peer
3 Review Panel. There's a general agreement, we say here,
4 between the DOE and the NRC approaches, with five major areas
5 where significant differences do exist.

6 NRC states that it's unclear whether sufficient
7 data on waste package corrosion, under conditions applicable
8 to the potential repository, can be acquired to demonstrate
9 compliance with the NRC requirements. And I think we've seen
10 in the last half hour that we've made significant advances in
11 those areas, and we're making progress and should make
12 significant progress to meet our objectives.

13 Data and models of the quantity and chemistry of
14 dripping water are inadequate to describe the process of
15 dripping under ambient and thermally altered conditions, and
16 we'll focus some of our additional testing over the next
17 couple of years to take a look at some of those features, and
18 also during the past year.

19 The saturated zone has not been sufficiently
20 characterized to the proposed 20 kilometer receptor location
21 to adequately address its contribution to the performance.
22 And the Nye County program that's being developed during the
23 past year, highly successful program that you'll hear about,
24 and we'll integrate that into our models for SR/LA, and Nye
25 County will continue to do work with us in cooperation with

1 us to try to add and augment our saturated zone model and
2 update that as we move along through the various iterations
3 leading towards the potential license application.

4 Volcanic disruption analyses and supporting
5 documents not necessarily representative. And that's been a
6 common complaint from the NRC staff for a number of years,
7 but during the past year, we've had numerous interactions,
8 and I think we're moving closer together on resolving those
9 issues.

10 And then a key concern to the NRC, and I know to
11 some of you, is the implementation of the QA program has
12 raised the issue of whether data products will be acceptable
13 and appropriately qualified. We've had a major programmatic
14 effort this year leading towards assuring that the necessary
15 procedures are in place, that we fund the systems that are
16 necessary to implement those procedures, and assure that the
17 people follow the procedures. And we're having training
18 programs all the time now. It's not like we didn't have a
19 quality assurance program in the past, but we're going to
20 have a standardized approach across the program that will
21 include NEPOL, the science side, the design side and PA, and
22 compliance will be mandatory, so to speak.

23 Philosophy of future TSPA iterations, it's somewhat
24 changed as we move toward the viability assessment. During
25 the initial phase of TSPA development, they were in large

1 part scoping exercises. So the '91 to '95 iterations of TSPA
2 were non-Q, and not very well controlled. Traceability
3 wasn't what you'd expect to be for a licensing case.

4 TSPA VA made considerable evolutionary process for
5 its compliance in that area, and all future TSPA documents
6 will have needed controls placed on all data, models and
7 software analyses and documentation. This is to enhance
8 reader review of the documentation by improving traceability.
9 Any changes will be controlled under the change control
10 process, which includes conducting impact analyses. And that
11 will be very key to us in conduct impact analyses to see if
12 new information has significant impact on the models.

13 TSPA for SR Rev. 00 forms the fundamental
14 controlled basis to which the incremental changes will be
15 made. So within a year from now, we'll have the
16 documentation in large part for the basis for our postclosure
17 safety phase.

18 Now, this one I apologize, because I'm not a
19 draftsman, but they tried to help me, and I don't know if
20 they did. The science and engineering activities that
21 provide the data and inputs for the analysis model reports,
22 which are the AMRs, and there's almost--I think there's 150
23 to 200 analysis model reports that will be feeding into the
24 PMRs, which are the process model reports.

25 The process model reports, along with the TSPA,

1 will form the postclosure safety compliance arguments,
2 providing the technical basis for that argument. So the
3 documentation for all the TSPA work that will be used
4 referencing back to the PMRs and to the AMRs. The AMRs, some
5 of the data can feed the TSPA directly, or in large part, it
6 will be synthesized within the process model reports.

7 The process model reports are the equivalent of our
8 synthesis reports in the past, and the process model reports
9 are comparable in part to the technical basis documents that
10 were produced to go along with the VA last year. Each
11 process model report will contain a section that's an
12 abstraction of the complex process model by PA, to be
13 utilized in the TSPA model.

14 In the PMRs, also the sub-models and model
15 documentation will be available, along with the abstraction.
16 The data uncertainties will be discussed. It will state the
17 assumptions that were made to do the modeling. Model results
18 are output, the code verification, it will contain opposing
19 views, and a discussion and support information for the
20 regulatory evaluation relative to the key technical issues of
21 the NRC.

22 The linkage of the major programmatic SR/LA
23 milestones are shown in the next illustration, which is
24 difficult for me to see here, but the left-hand column is a
25 listing of the PMRs that will be developed, the process model

1 reports. The integrate site model, that is going to contain
2 what we were shown in the back of the room yesterday. The
3 geologic framework model, the rock properties model, the
4 basic porosity information, the rock properties data, and
5 then the mineralogic and petrologic model developed by LANL.

6 The second PMR is the UZ flow and transport, the
7 biosphere model, the waste package degradation model, the
8 waste form degradation model, engineered barrier systems, and
9 near-field models, the saturated zone flow and transport, and
10 then for a good measure, we threw in the tectonics report,
11 which is really a consequence analysis that still needs to be
12 done as a complementary document to the prior tectonic reports
13 that are already available.

14 So those PMRs through time should be updated and
15 impact analyses done to see what major changes may have to be
16 made to the models, feeding Rev. 1 of the PMRs and Rev. 2 of
17 PMRs through time, and the same case for the TSPA
18 documentation for the SR, SR Rev. 1, and then finally, if we
19 move on to a license application.

20 The TSPA SR overall scope will be to develop the
21 process models, abstraction models and TSPA models,
22 incorporate those features most significant to performance,
23 and include the uncertainty in the conceptual models and the
24 parameters, identify and screen relevant features, events and
25 processes, the FEPs database, and I've given an overview in

1 the supplementary materials at the back of your presentation
2 on what that will consist of and what its schedule will be.

3 Features and events and processes database is an
4 important one as a guide for the NRC. They've requested that
5 that be developed, and it's also a bright thing to do so that
6 we can use it as a source of information and as a place to
7 point back to the PMRs and the AMRs for the technical basis
8 for each one of the features, events or processes that we
9 know we have to include or exclude in the total system
10 performance assessment evaluation.

11 In addition, the scope would be conduct analyses
12 using the process and abstraction and total system models
13 most important in accordance with applicable QA controls for
14 data, models and the software. And the PVAR process was the
15 process validation and reengineering process you've heard
16 about from past presentations, and then formal presentations.
17 We will be implementing over 20 new procedures this summer.

18 Document analyses and technical basis in TSPA SR
19 Rev 00 and the process model reports, and provide the basis
20 for suitability evaluation for the site recommendation.

21 For future TSPA iterations, again, screen the FEPs
22 using the regulatory criteria, use controlled models and
23 analyses, evaluate the total system performance incorporating
24 the uncertainty and using probabilistic case runs. There's
25 some developmental or evolutionary steps that will be

1 followed in this process. Conduct a stylized human intrusion
2 scenario analysis in anticipation of what the requirements
3 will be from the NRC, and perform limited subsystems
4 performance evaluations.

5 Again, for future, the SR Rev. 1, which would come
6 after the consideration hearings, they would respond to the
7 comments on Rev. 00 of the TSPA document. We'd revised those
8 analyses with applicable changes in models or data, as we see
9 appropriate document why or why not, conduct a subsystem
10 performance evaluations and conduct specific multiple barrier
11 analyses. We'd document those results and the interpretation
12 in accordance with regulatory acceptance criteria.

13 For LA, again, it would be very similar. We'd
14 revise and incorporate their comments, make a better
15 document, integrate the new information from site
16 characterization, do impact analysis to see if it would have
17 a significant impact on the total systems performance
18 assessment to see what models had to be updated, and review
19 the Rev. 1 if we were to move on for LA.

20 As you've gone through the LADS exercise yesterday,
21 and some of the corrosion testing results this morning,
22 you've seen that we've anticipated the changes in the design
23 for several months, simply because it would be a better
24 design.

25 The changes that were anticipated in the

1 engineering system and components and the representation of
2 coupled processes, we've now got different waste package and
3 design and materials and we've altered the in-drift
4 chemistry, as a consequence, compared to the VA based case.

5 System changes as a result of the changed design
6 features that we have considered or have incorporated are the
7 backfill, the invert, drip shield, et cetera. There's a
8 smaller zone in the host rock that will undergo changes due
9 to thermal effects for this lower temperature design. It
10 isn't necessarily a low temperature design, but decidedly
11 lower. With 81 meter drift spacing, it will make our
12 modeling much easier, we hope.

13 In general, the effects on the natural systems
14 models are expected to be minimal compared to the VA base
15 case models, and there's quite a bit of work in progress
16 right now, as you've seen from the PMR schedule presentation.

17 Now, another point that you wanted covered was how
18 was TSPA used in the LADS exercise, and I think that Jim
19 Blink and some of the other speakers yesterday did show you
20 ways that it was incorporated in the LADS process for
21 estimation of performance relative to the various design
22 options and alternatives that were being considered.

23 TSPA was used in the LADS exercise to develop and
24 refine insight about the potential for each proposed feature
25 or alternative. The analyses were expected to estimate the

1 change in timing and magnitude of dose rate for each design
2 option.

3 The level of detail for the PA analyses for the
4 LADS were consistent with the level of detail provided in the
5 design concepts themselves. They were scoping in nature.
6 They were intended to support conceptual model development
7 for the various designs.

8 The PA analyses for LADS were not expected to
9 provide the detail required for the safety case, and that
10 will come. We will do it. And as we get more information
11 from the various fields on corrosion and other process models
12 to integrate, we will make the necessary changes to the TSPA.

13 Additional data collection and analyses will be
14 necessary to develop a defensible representation of selected
15 options for use in the TSPAs.

16 And an important point from the EDA is that all
17 five exhibits markedly better long-term performance than the
18 VA base case from the analyses that were conducted.

19 Schedules I won't cover in any great detail. We've
20 already gone over some of those. What I'd like you to see is
21 that it's relatively tight. We've got PMRs coming in in a
22 flood within the next year, TSPA production by next year in
23 July, so I guess this is almost the month of July, twelve
24 months, a heck of a lot of work.

25 A good part of the analysis input to the TSPA for

1 next year will be concluded this year, because you've got to
2 cut off someplace, but we will continue to bring in data and
3 do impact analyses to see what we may or may not have to
4 change for that Rev 00 throughout the year.

5 And, again, the next couple of pages are the
6 schedules. Rev 00, analysis and model reports during that
7 period of time, and then the preliminary suitability
8 evaluation in November of 2000. Analysis and models for Rev.
9 1 in 7 of 2000, final suitability evaluation in 3 of 2001.

10 In summary, I'll go to Page 24, TSPA SR will
11 require that all data, models, analyses and software are
12 under baseline control, that we assure traceability and
13 transparency for our arguments in the development of such.

14 TSPA SR will have adequate, necessary and
15 sufficient information to provide the technical basis for
16 compliance evaluation. And I believe we've made, again, a
17 lot of progress during the past year towards this, and my
18 confidence level is growing decidedly.

19 In a timely manner, TSPA will integrate updated
20 material and incorporate model and analysis modifications
21 required to reflect the selected new design. And, again,
22 that's in progress, as you've already seen from some of the
23 work as we've directed it and prioritized it in the near
24 term.

25 As recommended by the PA Peer Review Panel, the

1 TSPA SR will include conservative bounding analyses as
2 appropriate. The combinations of bounding analyses and
3 design changes for complex issues where it's not feasible to
4 produce a more realistic model will be an approach that we
5 use. Limited improvement in component models where such
6 changes significant affect the overall TSPA will also be
7 incorporated.

8 And I guess one way of putting it is we try to
9 avoid unduly pessimistic bounds and assumptions, as the panel
10 reported, by enhancements to our process model and
11 enhancements to the TSPA models themselves.

12 Implementing plans to prioritize work continues
13 with the analysis of principal factors, and work required to
14 serve as an adequate basis for SR.

15 This is an important time for policy making
16 decisions and for us in the technical areas to make technical
17 decisions and prioritizations of our work, and I hope that
18 this has been beneficial for you. You've learned a little
19 bit about where we've been and where we're going, and it's
20 addressed your questions.

21 If you have any questions, I'd be happy to take
22 them.

23 SAGÜÉS: Thank you very much. Do we have some questions
24 from the Board? Dr. Wong?

25 WONG: Jeff Wong of the Board. I have a multi-headed

1 question. Probably Lake will answer some, and you can answer
2 the other.

3 On your Slide Number 10, you talk about some of the
4 QA issues.

5 TYNAN: Yes, sir.

6 WONG: And I'd like for you to sort of expand upon what
7 have been some of your successes or some of your problems in
8 addressing the QA problems and what impact that will have
9 upon this very tight schedule. And I guess for Lake, I'd
10 like to know what impact he believes the \$50 million deficit,
11 I guess, in your proposed budget for '99-'00 will have impact
12 on this tight time frame, and also what impact do you suspect
13 that rebidding of the M&O contract will have on this time
14 frame?

15 TYNAN: Gee, thanks, Lake. I have a triple-headed
16 answer.

17 The program and all component parts are trying to
18 figure out exactly what our quality assurance program issues
19 are, and identify those clearly. During the past year, a
20 series of TIGER teams has been set up in each one of the
21 areas, each one of the technical areas of the program, design
22 and in the science programs, and in PA where necessary. A
23 series of audits has been conducted. A series of informal
24 vertical slices have been conducted by the M&O to see where
25 issues are still open.

1 It was in part a question of following the
2 procedures, and they ranged in degree of difficulty from
3 things that were fairly serious, where traceability of our
4 documentation was weak or absent, or whatever, but those were
5 hopefully relatively minor, to items that were comparable to
6 the PI bought the material on his credit card. So we have a
7 range of simple things that deal with non-procurement issues,
8 to fairly significant programmatic issues.

9 We will approach the qualification problem
10 systematically, and have been I hope. In order to assure,
11 there was a plethora of procedures--I won't say that twice--
12 but several hundred. I mean it was awful. Each organization
13 had its own set of procedures. There were governing
14 procedures in the Department. The implementation became very
15 cumbersome for everybody, and the analysis model reports is a
16 group of reports that will be developed in response to a
17 program effort to consolidate procedures in those areas where
18 analyses and models are done, and they have one procedure
19 govern for all areas of the program, the conduct of that
20 work, to make the auditing easier, to standardize the
21 approach to documentation, and to assure traceability.

22 I've been extremely pleased with PA because they've
23 been in the forefront of this in the workshops trying to
24 assure that that is put into the planning phase up front. So
25 since last November when the analysis procedure was

1 implemented, they've been planning the plan in accordance
2 with anticipated procedure, and implementing the work, either
3 in accordance with the newly implemented procedures, or with
4 anticipated coming procedures.

5 The impact of the budget, I think I'll leave to
6 Lake, but some of the implementation of the program could be
7 impacted by a severe cut, if we experience one. The TIGER
8 teams are coming close to the conclusion of their work.
9 There's some additional work that they'll have to do for the
10 PMRs themselves, what data was actually used in those
11 analyses, what have we really got to qualify for the
12 licensing case.

13 A lot of items have been collected that can be used
14 to support, or we can use different ways to integrate that in
15 as support material, but it may not necessarily have to be
16 formally qualified.

17 So everybody has I think for the past three months
18 been in an uproar trying to figure out what it is that they
19 absolutely have to have, and what direction they're going to
20 take, and we'll have those plans in place, and we will have
21 implemented a good part of the initiation of the
22 qualification process in several of the PMRs during the next
23 four months.

24 WONG: So when do you expect to have closure on all
25 those issues?

1 TYNAN: I would put it to you from my perspective for
2 the SR Rev 00 for TSPA, there are a couple of process models
3 that could have a majority of the material qualified for that
4 time. By the time we get to the final SR revisions, it would
5 be DOE's hope that the vast majority of our datasets are
6 qualified, and by the time we go to licensing, there's no
7 question that that will be done. And it's a very high
8 priority, even compared to the initiation of new work in some
9 areas.

10 It's more important to fix what we've got, so that
11 we can validate the models and datasets and analyses that we
12 have before we move forward and mess ourselves up more.

13 We're in fairly decent shape at this time. Now, Lake,
14 I'm going to make one more clarifying point.

15 BARRETT: You're doing fine.

16 TYNAN: The database, as has been heard by almost
17 everybody, almost everything in our technical basis documents
18 produced for the TSPA were labeled TBV, and they've gone
19 through that--that's to be verified--they've gone through
20 that. It was a policy glitch. We just said we're not
21 certain about some of it, so let's make it all this way. And
22 as we go through the validation exercise with the PVAR
23 validation process, we'll begin to switch the switches back
24 to QA. We want to make sure we had all our I's dotted and
25 T's crossed before we do that, and that's a wise thing, a

1 prudent thing before we enter the licensing arena. I really
2 want to see that done, and I think everybody in DOE does, and
3 I think you do. Go ahead.

4 BARRETT: I think Mark gave a good example of where we
5 are. We have several number one priorities that we're
6 working simultaneously. We know that we must have world
7 class science done extensively as we can. We also know for
8 license application, we must have documented processes and
9 documentation that we followed that, and it all must be
10 verified. And we have to sort out, you know, minor problems
11 on procurement versus major data uncertainties, so that has
12 to all be cleared up for the LA.

13 As we are struggling under a constrained budget, we
14 have to balance between energies on process, on documentation
15 of the processes, on starting new scientific work, and
16 confirming old scientific work and balance all of these
17 together, and that's what Mark and Steve and thee whole team
18 are doing.

19 We don't know yet with a \$50 million cut, how this
20 is all going to come out. We don't know what slips, what
21 doesn't slip. We know some things are going to slip. We
22 have to look to see what's necessary and sufficient for that
23 stage. For example, in the draft SR, you could have more
24 TBVs, not TBDs, "to be determined", but "to be verified,"
25 and we know we must clear the to be verifieds before a

1 license application. And that's why I expect the license
2 application would probably slip before the other, but I think
3 we'd like to get a national decision, do we or don't we have
4 a suitable site, as soon as we can, but not before we have
5 adequate science to sustain that as it relates to the matter
6 of degree of uncertainty, which the Board is very much
7 attuned to.

8 So, I mean, that's kind of the forces that are
9 going on, and there is no answer today what it is, and we're
10 going through that this afternoon in some detail, and
11 continuing on.

12 SAGÜÉS: Dr. Cohon?

13 COHON: I'm especially interested in what results will
14 be generated with TSPA, and how those results will be used to
15 support the SR. On Page 5 of your presentation, you're
16 talking about the Peer Review Panel. They mention, and I
17 guess you agree, that the focus for TSPA SR is expected
18 performance and reasonable assurance. We all know, and you
19 know better than any of us, that there is a great range in
20 performance here. The error bands will be large, uncertainty
21 will be important. How do you plan on quantifying
22 uncertainty and how do you plan on presenting that to policy
23 makers and DOE and to people outside of DOE?

24 TYNAN: I think what I'm going to do on that one is let
25 Bob Andrews address it. But before he does, I'd say that I

1 think he could probably handle that best. In the VA base
2 case presentation documentation, and in the support material,
3 in most cases we discussed the associated uncertainties, and
4 how uncertain are we about the uncertainties, I'll not go
5 beyond with that, but I would think that the SR document
6 would be comparable in treatment to what we saw in the VA.
7 And the more robust sensitivities and other things will be
8 added in.

9 BARRETT: Lake Barrett, DOE. Let me add a little on
10 that. In the development of the EPA standard, and the NRS
11 Part 63, there is this issue about the historical EPA of
12 reasonable expectation, the NRC historical reasonable
13 assurance, and how do those translate into our TSPA base and
14 our projecting into the future.

15 The standards will have numerical criteria, say at
16 10,000 years. The EPA may have other numbers, you know. And
17 now how does that fit in, and how do you turn the
18 probabilistic analyses in TSPA which have uncertainties, how
19 do those turn into a go/no go criteria? In the SR, we would
20 compare the performance of Yucca Mountain as our TSPA tells
21 us what the performance is, against the EPA and NRC criteria
22 plus, and how is that interpreted.

23 There was some discussion Monday. The National
24 Academy of Science's Board had a meeting Monday and this was
25 discussed with EPA and NRC, and I was there for DOE, and this

1 was discussed. And there were discussions about is it the
2 mean, and how do you handle the uncertainties. Bob Budnitz
3 was there on the phone, and Chris Whipple, who were both on
4 the Peer Review Panel, John Ahern, and there was a lively
5 discussion, Roger Casperson (phonetic), about what does this
6 mean.

7 So they were wrestling with exactly that, and my
8 non-statistical view of that, and I'm terrible at statistics,
9 was that the reasonable expectation and reasonable assurance
10 were starting to sound like the mean values that would be
11 used, but there was no conclusion. And there was a comment
12 kind of made to the NRC and also to the EPA, that whatever
13 the regs are ought to be fairly explicit for DOE, that
14 everyone would know kind of what was meant by reasonable
15 assurance and reasonable expectation in TSPA space, so that
16 there isn't any societal misunderstandings when we go into
17 site recommendation decisions and licensing decisions in the
18 future. I don't know if that clouds it up or helps, but--

19 COHON: No, it doesn't cloud it up. I think it helps in
20 what is a cloudy issue.

21 This might be, Lake, exactly what--or one important
22 distinction between SR and LA. One could discuss and
23 question the wisdom of having a standard for LA which is only
24 expected value. Let's put that aside. But SR is not LA. As
25 you've observed in your presentations before, SR is

1 inherently a political process that will include anybody who
2 has anything to say about this site.

3 In that kind of process, being very clear about the
4 range of values, the uncertainty, quantifying it, not just
5 characterizing or discussing it, as was the case in VA, but
6 quantifying it and figuring out how to convey that to non-
7 technical people, policy makers and public, I think will be
8 very important. And I don't think it will be enough to focus
9 just on mean performance. I think that will mask a set of
10 issues that are fundamental to suitability, to SR, which may
11 or may not carry forward to LA.

12 I have another question, if I may, Alberto. On
13 Page 20, I think, the last bullet there talks about
14 additional data collection and/or analyses necessary to
15 develop defensible representation of selected options. Two
16 questions about--or two requests on this. One, if you could
17 expand a bit on data collection, what are we talking about?
18 What kinds of data collection, about what? And discuss what
19 we mean by defensible; how do you measure defensibility or
20 how would we know that we have a defensible representation?

21 So what kind of data collection and how do you
22 define defensibility?

23 TYNAN: Well, we're in the process right now of trying
24 to make a decision on what design we'll use, and it's been
25 strongly suggested EDA II would be the way to go. Several

1 aspects of the EDA II design probably require us to look at
2 them in considerable detail. So not only for the design-
3 related aspects, but also the natural systems, what do we
4 require for the process models, such that it is defensible,
5 and I'll define it for you. If it's not a good story and we
6 haven't got data to back it up and we haven't used reasonable
7 bounds and we can't demonstrate why those are reasonable
8 bounds, then that's not a very defensible argument. I take
9 it from the opposite direction rather than a definition.

10 For the year 2000 and beyond, that testing is still
11 being finalized and negotiated with the M&O, so at this
12 point, I can tell you some of the ongoing tests related to
13 the Richard's Barrier would be utilized, I would hope, for
14 analysis of backfill, inclusion of backfill, exclusion of
15 backfill, the role that the backfill could play in insulation
16 of the waste package, and its long-term performance effects,
17 and ongoing tests with approximately 18,000 coupons--that's
18 my favorite number for the program--is that a lot of
19 metallurgical type tests ongoing in the program, that Mr.
20 Farmer has talked about, and the additional data that would
21 be collected from the Nye County wells to augment out SZ
22 program.

23 We expect also in the future to do an alluvial
24 complex testing program to add to the saturated zone
25 understanding, and to help defend our model, or make a better

1 model.

2 For TSPA itself, it's impacted by everything else
3 in the program. So where a piece of data that's an ugly fact
4 or a beautiful fact comes up, we can bring that into the TSPA
5 process and change those models. And defensibility, again, I
6 won't go back to define it, but in the TSPA realm, the
7 technical basis for the TSPA analysis had better be
8 defensible in the technical sense and in the quality
9 assurance sense.

10 SAGÜÉS: Okay, thank you. We're running short of time.
11 We have a few more questions. Dan Bullen, Leon Reiter and
12 Dick Parizek.

13 BULLEN: Bullen, Board. Mark, you'll probably regret
14 putting asterisks on viewgraphs, but I was going to ask you
15 about this one. You noted that all EDAs exhibited better
16 performance than the VA base case, but all EDAs had titanium
17 drip shields. If you put a titanium drip shield on the VA,
18 how does it compare?

19 TYNAN: That would be wonderful, too.

20 BULLEN: I know, but you're going to defer. So the
21 comparison isn't a fair one, and actually the comparison that
22 you make in your backup slides isn't a fair one. If you
23 wanted to take a look at that kind of performance, you should
24 do an apples to apples comparison, as opposed to an apples to
25 orange comparison.

1 TYNAN: I agree. I agree.

2 BULLEN: That was my comment on this one.

3 TYNAN: But I think if we threw out the drip shield,
4 they would still be better.

5 BULLEN: You might be hard pressed.

6 TYNAN: Some of them, EDA II especially.

7 BULLEN: Well, that's true. The next viewgraph is
8 actually the one I have a quick question on, and you can
9 provide a little bit more explanation. The integrated site
10 model PMR, can you tell us--I mean, we heard a little bit
11 about that it's an all encompassing PMR and all the other
12 PMRs kind of feed into it. Could you tell us a little bit
13 more about what the ISM/PMR is and how it works?

14 TYNAN: Let's make sure I didn't make that mistake. The
15 ISM is an important model because everybody below it has to
16 use it, and the integrated site model is a trash basket name
17 because people like the word "integrated."

18 BULLEN: I guess the question I had was it includes both
19 the natural system and engineered layout design, et cetera?

20 TYNAN: No, it will not. No, what this doesn't show is
21 the feeds to the design side of the house, the direct feed.
22 And the design group maintains that the ISM covers an area
23 from roughly the Prow down to Busted Butte. The design,
24 detailed design stratigraphic model that's used and
25 transported all around the design organization for imposing

1 the repository on the rock is a much smaller geographic area.
2 But in order to assure consistency, as the geologic model is
3 produced for utilization in the UZ, and then incorporation in
4 the SZ flow and transport, and other site area related
5 features, the design group has translated that into the
6 volcanic program, and then builds their detailed model, which
7 we're trying to assure consistency from model to model to
8 model.

9 And then also, the ISM in terms of the rock
10 properties, that those rock properties that are produced
11 there, are consistently used either in some sort of an
12 abstraction form throughout model to model to model, and that
13 when you go and check from our ISM to the other flow and
14 transport areas, are designed that you can go back to ISM and
15 make sure that there is agreement, technical agreement,
16 technical inputs are similar, the documentation is there, et
17 cetera.

18 BULLEN: Okay, thank you.

19 SAGÜÉS: Very good. Leon Reiter?

20 REITER: Yes, this is a question directed towards Abe,
21 and Mark raised the issue of the criticism review of the TSPA
22 LA and also of the use in the LADS. If I remember correctly,
23 both the Peer Review Panel and to some extent the Board found
24 both conservative and non-conservative--or potentially non-
25 conservative elements in TSPA VA/LA, and felt uneasy in

1 classifying the TSPA VA as being conservative or non-
2 conservative. And I think, Abe, at the January meeting, we
3 asked you specifically what are the things that TSPA VA is
4 good for and not good for, and one of the things I think you
5 said was it's not good for judging compliance.

6 Now, yesterday, we heard all kinds of comments
7 about how the TSPA VA shows this wonderful, superb designs.
8 What has happened since that time to allow us to make these
9 kinds of judgments, or maybe the judgments should be more
10 considered?

11 VAN LUIK: For a person of my age who doesn't remember
12 what he says from one meeting to another, this is very
13 difficult. This is Abe Van Luik, DOE.

14 What I meant when I said that this was not to be
15 used to judge compliance is, first of all, we don't have a
16 compliance line to judge ourselves by, an official one. And,
17 secondly, we knew that the QA and the technical defensibility
18 were not quite there to make a licensing type case. That's
19 where I was coming from.

20 The VA shows a very low dose mean value for 10,000
21 years. That was encouraging. The TSPA VA basis was used to
22 judge the relative merits of gross portions of the different
23 design options that were being considered in LADS. And I
24 think to the extent that it was just a pointer or an
25 indicator of relative merits, that it was fine to use it that

1 way. To go any further in detail in judging the details of
2 designs would have been improper, because as the Board has
3 pointed out, and as we're very well aware ourselves, some of
4 the coupled models that would have to be invoked to look at
5 the nuances of differences between these designs were just
6 not in the TSPA model.

7 So I think the VA tells a very nice story, a
8 defensible story. You know, conservatism is in the eye of
9 the beholder also. We believe that we were either realistic
10 or conservative, whereas the judgment of others reading the
11 document was that in some places, we were non-conservative.
12 And I think that we readily admit that in some areas, in
13 retrospect, it turns out that it may not have been as
14 conservative as we thought it was. But this is part of the
15 growth process, and this is part of the learning process for
16 doing the SR in a more defensible and more transparent way.

17 And we've also gotten the message from the State of
18 Nevada, Steve Frishman, that just because you're transparent,
19 doesn't mean you're defensible. You have to have a basis.
20 And so the basis is very important also. So we do listen and
21 learn, but I think at the same time, even though historically
22 we're stepping away from the VA, in my opinion, TSPA VA is a
23 very nice piece of work that for the first time integrates
24 every aspect of this program and, you know, is a giant step
25 forward to SR and LA.

1 SAGÜÉS: I'm going to have to limit at that. We're
2 going to have just one very brief question before the break.

3 PARIZEK: Parizek, Board, and it has to do with Figure
4 21. It's the time schedule between the PMRs and then the
5 blue and green boxes. If you take Nye County Drilling, which
6 really the first round of drilling has just been completed,
7 the testing is not all done on those wells yet, assuming
8 funding is there for the second and third round, it's a three
9 year program. To get to the saturated zone, the six month
10 00, then to go on into the, you know, the time schedule, it
11 seems to me you're not going to have all of that saturated
12 zone material in there. The inter-agency regional
13 groundwater flow model is a five year effort; I guess it's
14 the second year of five years. Again, that might not be up
15 to speed.

16 So how does the saturated zone box in there fit in
17 there if it's still incomplete? There must be other examples
18 like this. Maybe it's not necessary to answer that now.
19 We'll learn more about the time schedule this afternoon, I
20 guess, on the Nye County work. But it's troublesome to me
21 about the time schedule here, of getting the work done to
22 have a credible saturated zone model, to get the benefit of
23 what you're going to get out of the saturated zone for TSPA,
24 and then site recommendation.

25 SAGÜÉS: I guess that was more of a comment than a

1 question, Richard.

2 TYNAN: I'm very grateful. Thank you.

3 SAGÜÉS: Thank you very much. We will adjourn and
4 return now at 10:00 a.m. punctually. Thank you.

5 (Whereupon, a break was taken.)

6 KNOPMAN: I'll turn the gavel over to my colleague, Don
7 Runnells, who will be co-chairing this next and last session
8 with Dick Parizek on Geochemistry and Hydrology.

9 RUNNELLS: Thank you, Debra. I'm Don Runnells. Dick
10 Parizek and I will share the chairing of this session, and
11 I'll take the first section, and then after lunch, Dick will
12 pick up the second half.

13 We're going to shift gears here a bit, and start to
14 look again at the natural system. The last day, day and a
15 quarter, have been devoted pretty much to the repository
16 design and the waste package, but there's still a great deal
17 of interest in the natural system, in particular, the
18 movement of moisture, the age dating issues, the composition
19 of water, and in that context, how the composition of
20 groundwater relates to the regional hydrology.

21 We'll also hear about the Nye County drilling
22 program, its status and relationship both to geochemistry and
23 to regional hydrology. So we have quite a lot to cover, and
24 I'd like to go ahead and get started.

25 Our first speak, Mark Peters from Los Alamos, will

1 give us an overview of the scientific program itself, and as
2 you can see from the bullet lists there on the agenda, a
3 number of items will be covered that are of considerable
4 interest to the Board and to other people in the community.

5 So if Mark is here, we can go ahead and get
6 started.

7 PETERS: It's nice to be here again. Today, I'm going
8 to go through a whirlwind tour of the status of a lot of our
9 testing activities. There's going to be the conspicuous
10 absence of thermal testing, which you heard about yesterday
11 from Debby Barr, and Chlorine 36 and Busted Butte, because
12 Paul Dixon will talk about that later. I have a lot of
13 material to cover. I'm going to hit things that are pretty
14 high level. There's quite a bit of time for questions, so
15 I'll probably--I'm sure you all will have more detailed
16 questions as I go through the whirlwind tour.

17 I'm going to try to hit a lot of the items that
18 were discussed prior to the meeting that the Board was
19 interested in hearing about, and I also added some things
20 that I thought the Board might be interested in. I'll talk
21 some about moisture monitoring and the ongoing work in the
22 ESF and the cross drift, Alcove 1 and 7 in the cross drift
23 program, the ESF niche studies which are done in the Topopah
24 Spring, the middle non-lithophysal unit, an overview of the
25 status on the Chlorine 36 validation study. I know there's

1 some interest in the status of that. Another short status on
2 the cooperative work on fluid inclusions that's being done
3 with DOE and the State and UNLV, then get into some of the
4 status on the cross drift, the mapping and the alcove studies
5 and where we're at there.

6 I'll talk about the steep hydraulic gradient and
7 some of the results from WT-24, give a brief status of SD-6.
8 We've actually done some things at SD-6 since we talked in
9 January. Give a brief overview of what we're doing with Nye
10 County, without stealing Nye County's thunder in the next
11 presentation, we'll give a very detailed presentation of what
12 Nye County has found to date, as well as their plans for next
13 year. So I'm not going to go into those details.

14 And then following on from January, I gave you a
15 couple slides on the EBS pilot-scale testing program that's
16 going on over at Atlas, and so I went ahead and added the
17 status on that, and that will tie back to a lot of the
18 discussions on LADS that have been going on the last day or
19 so.

20 At the end of the talk, I will bring in how we're
21 in the process of prioritizing our testing program, talk
22 briefly about the process model reports. I won't go into any
23 detail; that was really discussed in the previous talk. And
24 then talk a little bit about our plans right now in terms of
25 long-term testing and performance confirmation.

1 So first, the testing update. I'd remind everybody
2 this is just a schematic of the ESF. You have the ESF main
3 loop. Here's the potential repository block, and then you
4 have the cross drift, which has now completed excavation
5 across the block, across the block but above the potential
6 repository. A reminder: all of these alcoves and niches that
7 you see in the ESF are constructed, and there's either
8 ongoing testing or testing is complete.

9 Right now, in the cross drift, all we have is the
10 cross drift. We're in the process of starting the
11 construction phase for a lot of the alcoves and niches. I'll
12 talk today mainly about Alcove 1, Alcove 7, as well as
13 results from Niche 2, and some preliminary results from Niche
14 3.

15 First, Alcove 1. This is more of an update. You
16 all heard about this in January. Again, the purpose is to
17 evaluate infiltration and percolation through the UZ above
18 Alcove 1. Remember, we've got an infiltration plot, and I
19 have a diagram later. We have an infiltration plot almost 30
20 meters above the crown of Alcove 1. We're introducing a
21 known amount of water, and we're looking for how much water
22 seeps into the opening and how that water is flowing through
23 the fractured rock of the Tiva Canyon. We're also evaluating
24 the climatic effects associated with increased precipitation,
25 and that's by varying the flux and really over driving the

1 system.

2 A reminder on the Phase 1, which was really done
3 primarily last fiscal year. We introduced over 60,000
4 gallons of water at the surface. It was all traced with
5 lithium bromide. So we were able to, we saw first water
6 entering the opening in Alcove 1 after about eight and a half
7 weeks after we'd applied over 30,000 gallons of water, and
8 overall, approximately 10 per cent of that water that we
9 applied at the surface actually entered the opening.

10 Let me back up. We actually did a series of
11 predictions, blind predictions, LBL did a series of blind
12 predictions in conjunction with the USGS PIs on when we
13 thought we would see first arrival. And the initial models
14 actually predicted we would see first arrival much faster
15 than we actually did. But the adjustable parameter there is
16 the fracture porosity. So as you change fracture porosity,
17 you were actually able to get much closer to within the range
18 of when we saw first arrival.

19 Similar for Phase 2. For Phase 2, we've just
20 started water application in February. Those numbers are as
21 of mid May. We've continued to infiltrate, so we're well
22 above 30,000 gallons of water applied. And you can see that
23 we're definitely applying a tremendous amount of water, seven
24 years of average annual precipitation. This time, we saw
25 seepage first time in three weeks, so there was what I'll

1 call a hysteresis effect. The fractures were still wet from
2 the first phase, so you saw initiation of fracture flow much
3 faster in the second phase. But, again, we're still getting
4 that magic 10 per cent of the applied water seems to be
5 entering the opening.

6 Again, we were using lithium bromide traced water.
7 We're also varying the infiltration rate now, so we're
8 looking for sensitivities in terms of infiltration rate, but
9 we're also starting to add more lithium bromide to start
10 looking at whether we see sluds of higher concentrations
11 entering the opening. We haven't seen anything yet. And
12 we're also going to start introducing more tracers to further
13 evaluate the flow and transport phenomena, and there is also
14 a suite of predictions for that that LBL has done. Once we
15 do that, we'll then compare that to the predictions.

16 This is just to remind you this is a plan view of
17 the north ramp. This is where you walk in. Alcove 1 is that
18 first alcove. At about almost 30 meters above, there's an
19 infiltration plot at the surface, and for those who have been
20 out there, that's that--it depends on when you're there, but
21 right now, it's a gray tarp. Underneath that is the
22 sprinkler system that we're introducing that water, and it's
23 bigger than the plan view of the alcove, and here's just an
24 idea of the scale here. The hill goes up above. This is the
25 drainage ditch of the portal.

1 There's also some data plots in your backup, two
2 data plots in your backup from Alcove 1. But this shows, for
3 the second phase here, again, it started in February, on this
4 axis plotted in blue is the cumulative amount of water
5 applied. I apologize for the non SI units. And also in the
6 red is the cumulative seepage, how much water we've collected
7 within the alcove. And, again, here's that magic
8 approximately 10 per cent.

9 Alcove 7. As you know, we've had a bulkhead--
10 Alcove 7 is where we excavated across the Ghost Dance Fault,
11 we've done that at Alcove 6 and Alcove 7. Alcove 7, we
12 actually constructed two bulkheads to isolate really more
13 than the back half of the alcove, and just watched it, had it
14 instrumented and watched it return to ambient conditions.
15 This was initiated about the same time as the Alcove 1 test,
16 during the 1998 El Nino year.

17 What we've seen so far, I don't really have any
18 data, the rock returned to ambient conditions, and what I
19 mean by ambient is greater than 99 per cent relative
20 humidity, within a month. We've also got instrumentation in
21 there to try to visualize, or within the rock at least see
22 drips, and we've seen no evidence of any dripping from the
23 rock into the opening. That test is ongoing. We
24 periodically go in, check the instrumentation, check the drip
25 cloths to see if we see any evidence.

1 NELSON: How long has that been going?

2 PETERS: How long has that been going? About a year and
3 a half now, if I've got my times right, around that. Over a
4 year. And right now, we are continuing that.

5 The cross drift; these observations in the cross
6 drift are based on moisture monitoring holes in the cross
7 drift, so we've got hydrologic instrumentation in the cross
8 drift, and we're looking for effects of evaporation and
9 looking at water balance. You've heard a lot of this before.
10 This is just to remind you of what you heard in January.

11 Construction water use. In terms of the different
12 response of the different units within the cross drift,
13 remember in the cross drift, we're exposing parts of the
14 Topopah that we've seen in the ESF, but also parts of the
15 Topopah that we did not. So we're seeing the upper lith, the
16 middle non-lith, the lower lith, the lower non-lith. And
17 remember, the repository is primarily in the lower lith.

18 The observations are we see construction water was
19 observed more than 30 meters within the middle non-lith, and
20 less than 2 meters in the upper lith. That's really driven
21 by the fracture density, the through-going fracture density.
22 The middle non-lith has many more larger fractures in terms
23 of fracture length.

24 When you do the water balance, about half the
25 construction water was actually lost to the fracture network,

1 but overall, we have a net drying of the cross drift due to
2 ventilation--due to excavation and ventilation.

3 In terms of additional observations, we're still
4 seeing the drying front migrate away from the excavation due
5 to ventilation. In the ESF, it's more than 2 meters. I
6 think that was discussed a little bit yesterday. In the
7 cross drift, it's actually approaching 2 meters right now.
8 That will continue to migrate further into the rock, so we're
9 having a net removal of water from the cross drift, and we
10 talked some about the implications that might have yesterday.

11 And this bullet here about the response varying in
12 terms of drying, I'll get to that in one of the data plots.
13 You'll see how there's a differential drying, depending upon
14 which unit you're in in the Topopah.

15 I'll also get to this bullet where the water
16 potential measurements that we're doing using heat
17 dissipation probes in the cross drift are relatively uniform
18 across all the sub-units, and are higher, the water
19 potentials tend to be higher than observed previously. But,
20 again, that's using a set of instruments that haven't been
21 used to do some of the other measurements. I'll talk about
22 some of those implications for that. But we are in the
23 process of doing some additional investigations to evaluate
24 the importance of those higher water potentials in the cross
25 drift, including doing some work on using two different sets

1 of instruments that measure the same thing to see if we get
2 the same answer. I'll put it simply.

3 Some examples of some data. This is from a nest of
4 heat dissipation probe holes. This is in the ECRB at
5 construction station 23+50. That is in the lower non-
6 lithophysal unit, almost out to the Solitario Canyon Fault.

7 What you've got is you've got four boreholes with a
8 heat dissipation probe at the bottom of the holes. So you
9 have a 30 centimeter hole, et cetera, on up to a one and a
10 half meter hole. The data plotted here is a function of
11 time, water potential in bars, so as you get wetter, you get
12 closer to zero. You can see the effects of the drying. The
13 deeper hole, it takes a while to incorporate, once it
14 incorporates, it's relatively flat, and here's that nearly
15 between minus 1 and minus a half a bar. These are minus
16 bars.

17 So you can see the most shallow hole is showing
18 this really steady drying. You never even see any ambient
19 conditions in this hole. By the time it incorporates, the
20 drying front has already passed. And similarly, you're
21 seeing progressive drying sort of in the close to meter
22 range. The drying front is past there. And there's a hint
23 of drying here. Most of the heat dissipation probe boreholes
24 in the cross drift are 2 meters depth. They were drilled at
25 that depth to try to get at the ambient conditions prior to

1 the drying front passing.

2 This gets back to the differential response. What
3 this is is, again, heat dissipation probe data, water
4 potential and minus bars as a function of time along the
5 ECRB. I've got the nomenclature here for the Topopah sub-
6 units, upper lith, middle non-lith, lower lith, and lower
7 non-lith. This is as a function of time.

8 This gets at what I was talking about about the
9 fairly uniform ambient water potentials, but you can see that
10 as we've progressed in time, we've got preferential drying,
11 particularly in the middle non-lith where it's highly
12 fractured with long fracture lengths. These are all 2 meter
13 depth boreholes. You can see some heterogeneity, but you see
14 preferential drying. You can see that the upper lith and the
15 lower lith tend to still be close to what we would consider
16 ambient water potentials based on the heat dissipation probe
17 again.

18 But, again, we are going about, we've installed
19 some thermal couple psychrometers, which is an alternative
20 way of measuring water potential, in some holes right next to
21 some of these heat dissipation probes to confirm that the
22 water potentials that we see ambient in the cross drift are,
23 in fact, what we're really seeing. So those have been
24 instrumented behind the bulkheads, and I'll get to the
25 bulkheads in a minute.

1 The ESF niche studies. Again, the ESF niche
2 studies, we've constructed four niches. Lawrence Berkeley
3 has done a series of niche seepage tests in those niches.
4 These are all in the middle non-lithophysal unit.

5 Just to reiterate, the purpose is to evaluate
6 drift-scale seepage processes and seepage threshold. We've
7 measured seepage threshold fluxes at Niche 2. Niche 2, I
8 pointed it out in the earlier diagram, but it's down by the
9 Sundance Fault, down towards Alcove 6.

10 We saw a capillary barrier forming and we saw what
11 I call fracture wetting history effects, meaning when we
12 first started liquid release tests, we didn't initiate
13 fracture flow immediately, but you saw hysteresis, so when
14 you did the second test, you initiated fracture flow much
15 faster because you'd wetted up the fractures.

16 Also, we do air permeability, both before and after
17 excavation at the niches, and we saw an air permeability
18 increase in the near-field after excavation at both niches.

19 Some of you have heard Rob Trautz of LBL, or maybe
20 Bo, talk about some of this work. But before we go in and do
21 the excavation, we actually inject dye, and as we're
22 excavating, we take samples to see where the water has
23 travelled. In the fracture system at Niche 3, and let me
24 back up, Niche 3 is up closer to Alcove 5 and sort of more
25 what I'll call run-of-the-mill middle non-lith. Down by

1 Niche 2, you're much more closer to the Sundance Fault zone.
2 But at Niche 3, we saw dye travel about 1.2 meters below the
3 release point, whereas, at Niche 2, it travelled about twice
4 as far.

5 And we're in the process, Niche 2 testing is really
6 winding down, we're in the process of doing liquid release
7 tests at Niche 3 right now, and are focusing again on
8 determining seepage threshold to compare the results from
9 Niche 2. And there's some results for Niche 2 in the next
10 slide.

11 This is actual data, saturated hydraulic
12 conductivity on the Y, versus seepage threshold flux. What I
13 mean by that is, and first let me describe what I mean by the
14 two colored symbols. This is actual field measures from
15 liquid release tests. Fracture network is where you have a
16 combination of high and low angle fractures, and then high
17 angle fractures is just what it says. So we have a series of
18 boreholes and we're releases at different intervals, and
19 we've characterized the fractures and then grouped them into
20 those two broad areas.

21 In general, what's done is you basically start at a
22 very high infiltration rate, and you basically do a series of
23 tests, marching down until you reach a so-called threshold
24 where you see drips into the opening. So what I'm plotting
25 here, as you can see, the flux, at least at Niche 2, the

1 results are much greater than 100 millimeters per year. You
2 have to get to fluxes--let me back up. Any flux up to this
3 point, you wouldn't expect to see any drips into the opening.
4 Okay? So this is real important to performance. If you can
5 demonstrate the threshold flux is very high, and you could
6 have significant flux through the repository horizon and
7 still not get any drips in the opening, so that's a very
8 important part of the natural system performance. And we're
9 in the process of trying to define that better.

10 A brief update on the Chlorine 36 validation study.
11 You're aware of the work that's been done by June Fabryka-
12 Martin and co-workers at Los Alamos over the years in the ESF
13 and now in the ECRB. There's an ongoing independent
14 validation effort going on where we're attempting to validate
15 the occurrence of bomb-pulse Chlorine 36 at two locations
16 that we saw in the ESF, namely we chose the Sundance and the
17 Drill Hole Wash Fault zones.

18 This is a joint effort involving USGS, and you can
19 see the list down there, Livermore, Los Alamos is involved,
20 AECL, and then the Accelerator Facility at Purdue is still
21 involved as well. We're drilling 50 boreholes, mostly 6
22 meters deep. There's two that are 10 meters deep. And we're
23 collecting core, they're dry drilled, 40 at the Sundance, 10
24 at Drill Hole Wash. We'll take those samples and conduct the
25 suite of analyses that you listed, chloride, Chlorine 36,

1 Tritium, U series, as well a Technetium 99. And also in
2 talking to Zel earlier, we're exploring possible Iodine 129
3 as well.

4 In terms of the status, we're drilling these as we
5 speak. As of early June, a couple weeks ago, we had finished
6 20 boreholes at the Sundance and there had been a core party
7 at the SMF where they had taken some initial samples. As I
8 said, we are drilling, and that's supposed to be finished by
9 August, and the analyses are ongoing. I don't have any data
10 to report today, but the initial Chlorine 36 and U series
11 work should be available by mid July.

12 Cooperative work on fluid inclusions. This is
13 related to some of the issues of, you know, alternative
14 interpretations of the fluid inclusion occurrences that you
15 see in some of the fracture minerals in the ESF and
16 otherwise. There's a cooperative study ongoing, UNLV, the
17 Department and State of Nevada. Right now, all we've really
18 done to date is we spent a tremendous amount of time taking
19 samples in the ESF and the cross drift, not only within the
20 tunnels themselves, but in the alcoves.

21 The way it's working is there's quarterly meetings
22 where all the technical people get together and discuss what
23 they're seeing in the rocks, actually sit there with the
24 microscope and look at the fluid inclusions. They had a
25 preliminary kickoff meeting in April, and they just had

1 another meeting a week ago. I think it's probably premature
2 to--I'd say next meeting, it would be good to have an update
3 on that. But really, it's too early to really say a whole
4 lot about the results from that, but we are sampling. We
5 finished sampling and we've taken more than 150 samples at
6 this point.

7 Now, the cross drift. Just to remind you, you've
8 heard about the work that's gone on in the ESF, Zel Peterman
9 and co-workers looking at fracture minerals and trying to get
10 an integrated picture of the long-term percolation flux
11 through the repository horizon. That work is ongoing in the
12 ECRB and the cross drift. This is just a smattering of what
13 they've done to date.

14 They've done some line surveys like they did in the
15 ESF to determine the spatial distribution and abundance of
16 the deposits. They've done a significant amount of sampling,
17 including some feature sampling in the Solitario Canyon
18 Fault. And then the bottom three bullets tell you what they
19 plan to do, akin to what they did in the ESF. Ongoing
20 analysis right now, I can't really say much about the
21 analysis, but the one thing we can say is the occurrences
22 tend to be very similar to what you see in the ESF,
23 regardless of what unit you're in in the Topopah.

24 Ongoing mapping work in the cross drift. As you
25 know, the Bureau has mapped the cross drift as we were

1 excavating, and they're in the process of finalizing the
2 report for those mapping results. But there's also an
3 additional activity going on right now, which we call the
4 small-scale fracture study. As we were driving through the
5 cross drift, we noticed--remember when the Bureau maps the
6 first pass, they use a fracture length cutoff of a meter.
7 Anything greater than a meter, they map. As we were going
8 particularly through the lower lith, we noticed a lot of
9 smaller fractures that we weren't mapping. So they've gone
10 back in and done six traverses, horizontal traverses about 6
11 meters long, with some vertical traverses associated with it
12 to characterize the fractures that are down to 4 centimeters.

13 This is the location of the traverses. The
14 construction station on the left, that's the meters, so the
15 first one is, for example, 1115 meters from the start of the
16 cross drift, with the lithostratigraphic unit, and then the
17 middle non-lith. So we have two traverses in the middle non-
18 lith, three in the lower lith, and one in the lower non-lith.

19 This just shows you the same thing in plan view.
20 This is the cross drift coming across. The black lines show
21 where the contacts are between the different units as exposed
22 in the tunnel, and then the locations of the six traverses.

23 This is actually some data. What we've got here
24 is, again, we've got as a function of construction stations,
25 so here's the four units, here's the Solitario Canyon Fault,

1 and again as you cross over the Solitario Canyon Fault, you
2 go back up in the section, all the way up to the upper lith.
3 This is fractures per 10 meters, so it's fracture frequency
4 plotted along the Y axis.

5 The actual observations from their initial mapping
6 where they had a fracture length cutoff of a meter are shown
7 in red. So you can see the lower lith and the upper lith
8 fracture densities are very low, close to zero. Whereas, in
9 the middle non, you get upwards of ten fractures per 10
10 meters greater than a meter length.

11 What's shown in the purple is an actual predicted
12 frequency that Chris Rautman of Sandia did based on the raw
13 quality data that the Bureau collected in the cross drifts.
14 You can see that that would predict that you would get a much
15 different distribution of fracture frequency as you walk
16 through the cross drift.

17 This small-scale fracturing study is addressing
18 that issue, and on the bottom here is a preliminary
19 observation based on what the Bureau is finding. They're
20 seeing that regardless of unit, they get around 150 to 305
21 per 10 meters, regardless of unit, when you go down to 4
22 centimeter cutoff, which is, as you can see, much more in
23 line with what you would predict from the RQD.

24 I know there's a lot of interest in what's going on
25 in the alcoves and niches. The next slide will have a--maybe

1 go to the next slide, and then we'll go back. This gives you
2 the detail of the cross drift. You've seen this before.
3 Some of the alcoves and niches planned have move around a
4 construction station. Cross drift running out here. We
5 stopped the TBM right around in here after we had crossed the
6 main splay of the Solitario Canyon Fault.

7 There's ongoing work in there right now. We
8 discussed at the January meeting the prospect of actually
9 bulkheading off part of the cross drift. That was raised by
10 the Board. It's also been discussed by the NRC. We, in
11 fact, have gone and done that, and as of last Wednesday, the
12 bulkheads were closed.

13 So what we've done is we put a bulkhead right here
14 at about 1750 meters from the opening, just before you get
15 underneath the crest, the high infiltration area at the
16 crest, and also an additional bulkhead right before the main
17 splay of the Solitario Canyon Fault, about 2500 meters out.
18 Those have been closed. We're not ventilating behind there,
19 and we've got the instrumentation run to fiberoptic, and
20 we're collecting data ongoing to see how the system returns
21 to ambient, and get a feel for the difference in hydrologic
22 response as we move across that part of the cross drift.

23 Also, what's planned in the immediate future, is
24 we're preparing to start excavating the cross-over alcove.
25 That starts its way in the upper lith. Remember, that goes

1 out over top of ESF Niche 3, and there we're doing a flow and
2 transport test. We're introducing a known amount of water in
3 the bottom of the cross-over alcove, and then we're going to
4 see how it flows through the upper lith, and also address
5 seepage issues underlying Niche 3. Remember that it starts
6 at the upper lith, but because of the different units, you
7 actually enter the middle non about 5, 8 meters below the
8 cross-over alcove. So we're actually look at two
9 stratigraphic units there.

10 So, again, that drill and blast excavation is
11 scheduled to start here in the next--probably in the next
12 three or four weeks. Testing would continue in 00, according
13 to current plan.

14 Following that, the current plan would call for
15 moving to Niche 5. That is a seepage test in the lower
16 lithophysal unit. Again, remember the lower lithophysal, you
17 pick up the lower lithophysal unit right about here as you're
18 walking down the cross drift. So this would be a seepage
19 test akin to the ESF test, but again in that lower lith unit,
20 which makes up the majority of the potential repository.

21 And following that, the plan would be to move to
22 the cross drift thermal alcove, and do a smaller thermal test
23 in the lower lith to complement what's going on in the drift
24 scale test. But, again, these are all according to the
25 current plan. I'll get to some of the caveats on that, and

1 you've heard some of that already.

2 I've already said most of this. This gives you a
3 detailed status on the things that are in the immediate work
4 scope out there at the ECRB, the bulkheads, the cross-over
5 alcove and Niche 5. I won't go back through that.

6 This is a schematic of the cross-over alcove.
7 Again, off the left rib of the cross drift, and then below
8 here is the ESF Niche 3, we'll have a series of vertical
9 boreholes coming down, and also up from Niche 3, for
10 observing the wetting front, and also we'll put an
11 infiltration plot in the floor of Alcove 8 and introduce a
12 known amount of water.

13 COHON: What's that distance again?

14 PETERS: It's about 15, 20 meters. 15 meters.

15 Actually, closer to 18.

16 This is a schematic of what a niche will look like
17 in the cross drift. Remember, in the ESF, some of you have
18 seen the niches, they're just short 10 meters drives off of
19 the main there in the ESF. Here, in the ECRB, we're actually
20 going to excavate an access drift off of that, and then the
21 actual testing niche will be at the back end. So we'll still
22 do these pre-niche excavation boreholes, as well as some
23 radial boreholes for long-term testing. Same concept, liquid
24 release from these upper holes, look for seepage in the niche
25 itself.

1 Continuing in sort of random walk through the
2 testing activities, I'll move to the surface, the surface
3 based testing program in the saturated zone. The steep
4 hydraulic gradient. As you heard in January, we deferred any
5 further drilling at WT-24 unless we deemed it necessary to
6 meet PA needs in support of SR and LA. But we can say--and
7 that's been done, but we can say from the results from 24 and
8 earlier testing, there are some important constraints that we
9 can make on the steep hydraulic gradient.

10 We did encounter the regional potentiometric
11 surface close to the bottom of 24, and we did see above that,
12 perched water above the regional water table in 24, as we've
13 seen in some of the other holes up in that area. And we know
14 that's perched. That's based on hydrochemistry and some
15 other constraints.

16 So what can we say to date? Right now, the favored
17 hypothesis is that the gradient does exist north of the
18 potential repository, but it's probably not as steep as we
19 once thought, and the condition that causes that gradient may
20 actually tend to divert some of the saturated zone flow
21 eastward around the potential repository, and down Fortymile
22 Wash or Midway Valley, along some major structural features.

23 This is probably out of place, but just to remind
24 you with WT-24, it looks like a lot of colors, the main point
25 is that we TDD WT-24 in the Calico Hills. It was a

1 relatively tight portion of the Calico Hills, and we were
2 unable to get a reasonable pump test.

3 SD-6; in January, I told you we had steel stuck in
4 the bottom of the hole. We weren't sure what we were going
5 to do. We had never TDd that hole. We were stopped at about
6 2500 feet. We had just hit the water table. We have since
7 decided to go ahead and use a whipstock technique. We
8 diverted around that stuck steel. Instead of going in and
9 trying to fish it out, we went around it, and we TDd the hole
10 about a month ago, and we've just finished the pump tests
11 there at SD-6.

12 We did a series of short pump tests, then we did a
13 two week pump test. We were able to pump about 16 gallons a
14 minute for a couple weeks. We TDd that down to the Bull
15 Frog. We actually were in the Bull Frog . That C-well, that
16 actually is the producer. Up here, it was still a relatively
17 low producer, but we were able to sustain a pump test.

18 I can't say a lot about the pump test right now.
19 They're still analyzing it. I'd say the next update, you'll
20 probably hear more about what we think we know about SD-6,
21 but they are looking for not only recovery data within SD-6,
22 but also looking at some of the local wells to see if they
23 see any draw-down locally from a more regional perspective.

24 More on the saturated zone. You heard the last
25 meeting about the cooperative work we're doing with Nye

1 County, and I won't dwell on this because you're going to
2 hear a lot more about Nye County next talk.

3 The field work is mostly completed. We're in the
4 process of analyzing cuttings and also analyzing water
5 samples, and providing that information in a cooperative
6 fashion with Nye County. The data that we're collecting is
7 being incorporated into the project SZ flow and transport
8 model that is being iterated in preparation for SR.

9 The last bullet is actually old news. Nye County
10 next talk will tell you what they're planning on doing in
11 terms of details for 00. The main point is is that we are
12 involved in working with them on that planning, integrating
13 that. The parentheses are actually in error. Things have
14 evolved in a couple weeks, and they're doing a different
15 number of shallow and deep.

16 Now, to switch gears completely from the natural
17 system and go over to the pilot-scale testing, as you know,
18 over at the Atlas facility in North Las Vegas, they're doing
19 a series of engineered barrier system tests to address EBS
20 performance. I told you about Test Canister 1 that they
21 initiated in mid-December, where they were looking at a
22 Richard's Barrier, medium sand over coarse sand, very high
23 drip rates. That test is continuing, and what they have
24 found is Richard's Barrier continues to effectively divert
25 the water. They've been able to collect greater than 98 per

1 cent of the water, and it hasn't actually compromised the
2 Richard's Barrier itself.

3 When I talked to you in January, they were just in
4 the process of starting the second canister. That was
5 initiated in mid-January. That was a coarse sand backfill.
6 The sand was the same coarse sand that they used as the
7 bottom part of the Richard's Barrier in Canister 1. That
8 actually--fail may be a strong word--but the mock canister
9 actually got wet, saw water within 24 hours, and the backfill
10 was fully saturated I believe within like a week. So that
11 only ran for a month. They turned that off. That was,
12 again, at very high infiltration rates.

13 Now, the new development that's coming out of the
14 LADS effort, as you heard about, drip shields have become a
15 big part of that effort. So just really two weeks ago, they
16 initiated a third test, and I'll show you a schematic of that
17 in the next diagram. But the concept is a drip shield, they
18 have a crushed tuff invert with a steel mock canister, and
19 they're going to emplace a 2 centimeter thick stainless steel
20 drip shield over top of that, no backfill over the top of the
21 drip shield.

22 Phase 1 is ongoing. What they're doing is they're
23 heating it up. They've got a single element heater within
24 the canister. Let's go to the next slide. This is a
25 schematic. Here's the scale. Again, I apologize for the non

1 SI units. This is about four foot diameter. They have a
2 large test canister. Inside that, they have a metal canister
3 with a single element heater in it. This is the drip shield.
4 Then they have guard heaters around the external part of the
5 canister.

6 The goal is to maintain the canister surface at 80
7 degrees C., the surface of the test canister at 60 degrees C.
8 They're in the process of doing that, and then they're going
9 to come back in and emplace the drip shield and then start
10 the dripping process, and they've got this instrumented.
11 They also have the crushed tuff invert instrumented. But
12 they're looking for phenomena like if they get, for example,
13 condensation up under the drip shield that might drip onto
14 the can, et cetera, those kind of phenomena that are really
15 important to drip shield performance.

16 So that was quick, not a lot of detail on a lot of
17 the things that are going on in the science program.

18 What about SR, and if we continue on past SR to LA,
19 and now we're integrating with the LADS process, and you've
20 heard a lot about we have constraints on the program, budget
21 constraints, et cetera. We are in the process, during the
22 planning process, to prioritize the testing program. We're
23 linking it to the evolving safety strategy and LADS, so this
24 is an ongoing process. I can't sit here and tell you exactly
25 what's going to happen and what's not. We are prioritizing

1 that list, and then it's almost a matter of where you draw
2 the line, depending upon things that the budget cycle will do
3 that Lake discussed yesterday.

4 To date, and I'll emphasize to date, this is the
5 priorities, because again the safety case, safety strategy is
6 evolving as we speak, but to date, these would be some of the
7 priorities for the natural system. UZ flow and transport,
8 finishing up some of the ESF testing, starting up some cross
9 drift testing, and continuing Busted Butte. This is really
10 I'm speaking for 00 here.

11 Seepage is going to likely be a very high priority,
12 again, finishing up some of the ESF testing and hopefully
13 getting in there and doing Niche 5, in particular the lower
14 lith niche. Near-field coupled processes, and then of course
15 SZ flow and transport, and there, the cooperative work with
16 Nye County comes in.

17 A short slide on the PMRs. Mark talked a lot about
18 the PMRs, so I won't dwell on this. An important point
19 probably is that all the testing data that we're collecting
20 that goes into the subsystem models and the abstractions is
21 being documented in these analysis and model reports, which
22 are sort of the basis for the PMRs.

23 And Mark I think also mentioned this. It's
24 important to note that there's going to be testing that will
25 continue through the revs of the PMRs, and there will be

1 periodic feeds to those. Just because we have a feed in
2 August doesn't mean we're going to stop work, for example, at
3 Busted Butte. Busted Butte will continue and will feed the
4 next rev of the AMRs and PMRs.

5 What about long-term testing? This kind of relates
6 back to the prioritization and some of the things that I said
7 were priority. Current plan, and I emphasize current plan,
8 for long-term testing would include the drift scale test,
9 work in the cross drift, and SZ work in cooperation with Nye
10 County.

11 This is some long-term testing that actually would
12 go past, in the current plan, would go past the SR and LA
13 milestones. So it's all in how you define performance
14 confirmation, but we're still looking at processes there, but
15 we're also looking at prioritizing the performance
16 confirmation program. In longer term, that will be linked to
17 the TSPA sensitivity analyses and the regulatory
18 requirements.

19 We're in the process of reving that plan, right
20 now, looking like it's going to be completed in 00, and
21 that's linked back to these same principal factors of the
22 evolving safety case and the LADS process. So we're in the
23 process of refining that.

24 So it was fast, but I hope it gave you all a feel
25 for what we're doing.

1 RUNNELLS: Thank you, Mark. That was an excellent
2 presentation, and a lot of material in a short time.

3 We do have time for questions from the Board.
4 Debra?

5 KNOPMAN: Knopman, Board. Mark, would you elaborate a
6 little bit more on the priority setting process for the
7 scientific work in the near term, next six months, as well as
8 the following year? We heard a little bit about this just in
9 an informal discussion, but it would help to hear how the
10 science folks are interacting with the TSPA team in
11 identifying what needs to be done and when.

12 PETERS: Okay. You remember the discussion at the
13 January meeting about Table 2.2; right, Abe? It was the sort
14 of principal factors of the safety case as was contained in
15 the VA. That table is being looked at, and based on the new
16 information that we've got, and the results of the TSPA,
17 we're updating that table to reflect our current
18 understanding. A draft of that table was provided to the
19 contractor by DOE, and the M&O is now in the process of
20 looking at that and identifying the key factors that affect
21 performance, and that will drive the prioritization. The
22 science organizations are involved in those discussions. I'm
23 involved in those discussions.

24 KNOPMAN: Is that being done quantitatively through TSPA
25 sensitivity analysis or is there also--I was just going to

1 ask if that's the only way in which the priorities are being
2 set, or can you in a sense have an override from the
3 scientific teams because of a strong opinion that that TSPA
4 analysis is not producing a reasonable result?

5 PETERS: We're pushing back on it, and there's a lot of
6 back and forth on that. There's people in the audience who
7 can address it a lot better than I can, but they are using
8 the TSPA VA expected value, and they're doing it, they're
9 looking at neutralizing, they're neutralizing different
10 barriers, and then it's a neutralization analysis, and then
11 they're seeing that it's allowing them to identify the
12 principal factors for performance.

13 Some of the things that are coming out; seepage is
14 very important. Drip shield performance is very important.
15 We're in there pushing back, and there's a lot of back and
16 forth on it. It will be the key to driving the
17 prioritization of the program.

18 RUNNELLS: Dan Bullen?

19 BULLEN: Bullen, Board. You showed us a lot of very
20 good data inputs that will be coming available along the
21 lines of the next few years or so. What's the absolute last
22 chance for new data to get into the AMRs or the PMRs prior to
23 the TSPA for site recommendation?

24 PETERS: First round of data, and Bob, you can correct
25 me if I step on myself, but August, the first round for Rev.

1 00 comes in around August. I believe there would be an
2 update sometime in the winter of 00.

3 ANDREWS: Bob Andrews of the M&O. Let me try, Dan.

4 As you know, the AMRs, the analysis model reports,
5 feed on the data that Mark was just describing here, as well
6 as software and other pieces of information, literature
7 values, et cetera, and those then get rolled up into PMRs,
8 get rolled up into TSPA.

9 We have, as Mark Tynan said, a very controlled
10 process now to incorporate new information and evaluate the
11 impacts of new information. But there are kind of freeze
12 dates on data for different revisions of the TSPA. The
13 freeze dates for Rev. 00, as Mark Tynan pointed out to you,
14 are essentially, you know, this summer or early fall, late
15 summer or early fall of this year. It depends on the model.
16 Some of them come in a little bit later. And for Rev. 01,
17 it's essentially eight and nine months after that, so next
18 spring, next summer sort of time frame.

19 BULLEN: Bullen, Board. And so at that time then, the
20 data that we've collected, for example, in the next ten
21 months is going to be what's going to be available for TSPA
22 SR, and post that, there will also be--I mean, if the siting
23 recommendation continues on, there will be more inputs that
24 will be Rev. 02 of the PMRs that you'll provide input to?

25 ANDREWS: Yes, there is, as Mark showed on his slide,

1 there's a Rev. 02 of the PMRs, which essentially goes into
2 the license application.

3 BULLEN: Okay.

4 ANDREWS: So between now and then, you can think of
5 three revisions of data, analyses, process model reports and
6 TSPA.

7 BULLEN: Okay.

8 ANDREWS: And, of course, if any new piece of
9 information comes in late, you know, the system will allow
10 some impact analysis either at the analysis level or at the
11 process level or at the TSPA level, depending on the severity
12 of that new information, either positive or negative.

13 BULLEN: Now, as a follow-on to that, I'll come back to
14 Mark and say are there any pieces of data that are key that
15 won't hit those deadlines? Is there something that you think
16 that you really would like to have had, or you're looking
17 for, that won't be available in time for the example, August
18 of this year, or the eight month later time frame? Or are
19 you pretty comfortable with the way the schedule looks right
20 now?

21 PETERS: Well, let me maybe not answer it directly, but
22 let me jump around the question a little bit. There are
23 things in the schedule that aren't going to be available by
24 August, namely the SZ stuff won't be totally mature, and the
25 cross drift is not going to be totally mature. But we're

1 going to have to go with what we've got, make the proper
2 assumptions, be it conservative or bounding, whatever we need
3 to do, and then as we get information, update. But, yeah,
4 the reality is that certain things are not going to get done
5 for August.

6 BULLEN: Thank you.

7 RUNNELLS: A question from Dick Parizek?

8 PARIZEK: Parizek, Board. You discussed the Richard's
9 Barrier and the results seem very favorable based on the
10 Atlas experiments. I have not visited that facility, but
11 would be interested in see that. EPRI also did some
12 calculations and demonstrations that show that works. That's
13 natural material and the physics of that won't change in
14 10,000 years. On the other hand, maybe the properties will
15 change if you cement it or harden it, maybe fracture it,
16 various people have pointed that out. Are you doing
17 experiments at the Atlas facility that deal with cementation
18 possibilities, and the chemistry of reflux waters?

19 PETERS: A lot of the materials testing on those kind
20 of, a lot of the chemical stuff that might go on, some of
21 that's being done at Livermore on a batch or column type
22 experiment. They're not actually doing that at the pilot-
23 scale test at Atlas, but those issues are being addressed at
24 Livermore as part of the same program.

25 PARIZEK: Because yesterday, we saw an example of a drip

1 shield with about two feet of backfill on top of it. It was
2 not a Richard's Barrier arrangement; at least the cartoon
3 didn't suggest that. It was said to be informal, so we allow
4 for that. But you can get so much out of Richard's Barrier,
5 why wouldn't you use it along with another drip shield, since
6 drip shields are metals and you already have super metals in
7 the canister with the stellar performance results we heard
8 about. So, you know, we're adding redundancy here, but drip
9 shield is good. You've got to construct it, but Richard's
10 Barrier on top of it would also buy you a lot from what your
11 data is suggesting.

12 PETERS: It seems to be very effective in the test, and
13 there's other examples, and you see a lot of examples out
14 there where they are very effective performance-wise.

15 PARIZEK: Right.

16 PETERS: Is there a question in there, or do you--

17 PARIZEK: Well, it's a design factor. That may be put
18 in the design. That is a question. When do you put it in?
19 When would the drip shield go in? I guess that's late before
20 you close the door, and then this question of roof stability?

21 PETERS: Right.

22 PARIZEK: Is remotely placed, and so there's some
23 operational things, and I'm sure those are things the program
24 is thinking about.

25 PETERS: Yes. If you want to get at the sort of

1 operations aspect, I see Jim standing up already because I'm
2 going to ask him to comment on that.

3 BLINK: Jim Blink from the M&O. We did consider a
4 Richard's Barrier as the backfill. It is an option that is
5 not precluded, because we don't have to finally design that
6 backfill and emplace it until sometime into the future. The
7 reason we didn't put it into the EDA II directly was because
8 of the construction difficulty of emplacing it remotely in a
9 thermally and radioactively warm environment. We just
10 decided not to take that on unless we had to. But we haven't
11 precluded it either, and we're very interested in following
12 the results, both of the Livermore tests and the Losee Road
13 tests.

14 PARIZEK: One other question about priorities. You
15 didn't happen to mention the drip shield heater experiments.
16 I assume that will run just like Busted Butte. You didn't
17 state that.

18 PETERS: Right now, yeah, that's considered.

19 RUNNELLS: A question from Priscilla Nelson?

20 NELSON: Thanks. Nelson, Board. Two question; one,
21 when will air permeability or other direct evaluation of
22 permeability of lithophysal units data become available?

23 PETERS: We've drilled three boreholes at the Niche 5
24 location that we're going to use to do pre-excavation air K.
25 Those have been drilled. We will hopefully have those

1 measurements by later this summer. That's in the lower lith.

2 NELSON: So those will make into Rev. 00?

3 PETERS: Be right on the harry edge, but the information
4 will be available hopefully to incorporate into the UZ
5 process model.

6 NELSON: Okay. Let me ask you a question about that
7 apparently free knowledge about the drilling construction
8 water that got down and went an order of magnitude further in
9 the non-lith than it did in the lith; is that correct?

10 PETERS: Right.

11 NELSON: How was that observed? And were there
12 observations made about how much of that water might have
13 entered matrix porosity?

14 PETERS: It was observed by slanted down deep boreholes,
15 they cored them after the TBM passed, and they analyzed the
16 chloride.

17 NELSON: And these were air cores, air drill?

18 PETERS: Yes.

19 NELSON: So there isn't any separation of whether--where
20 the water was, how much might have entered fractures?

21 PETERS: There was a bullet in there. The only part of
22 the detail that I can give you is the water balance suggested
23 that about 50 per cent of it was lost to the fractures. But
24 how much of it entered the matrix, I'm not sure how well we
25 could address that actually.

1 NELSON: Is there a report on these observations?

2 PETERS: There is an informal report on that that I
3 could talk to Claudia and we could try to get you a copy.

4 NELSON: Okay, thanks.

5 RUNNELLS: There's time for one last question. Anything
6 from the staff?

7 (No response.)

8 RUNNELLS: Okay, let me ask a quick question then on
9 Alcove 1. I've always been kind of worried about the 30
10 meters as not being representative of the thicker rock that
11 will overlie the repository. Has there been any
12 characterization of that 30 meter thickness above Alcove 1 to
13 demonstrate that the hydrologic and chemical properties are,
14 what should I say, representative or at least near enough to
15 the repository cover as a whole that it will be followed?

16 PETERS: It's not in the right unit. It's in the Tiva.

17 RUNNELLS: I'm thinking more of the fracturing, the
18 mineral coatings on the fracture surfaces, those kinds of
19 things, the number of fractures.

20 PETERS: Well, the fracture coatings are different
21 because you're so close to the surface, and you get a lot of
22 calcrete type, you know, evaporation produced type deposits
23 there. So fracture mineralogy is probably different in terms
24 of abundance, and maybe even type. The fracture density,
25 it's different in the Tiva. It's a fractured unit, but I

1 can't really make a direct, totally direct comparison to what
2 you see in the Topopah.

3 RUNNELLS: So is the primary purpose of it to, let's
4 say, calibrate a model, to test the model, as opposed to
5 simulate the Topopah?

6 PETERS: Yes, and to look at the effect of varying the
7 infiltration rate on flow through the Tiva. That is the cap
8 rock that controls a lot of the infiltration into the
9 mountain. It was originally formulated as part of the El
10 Nino test.

11 RUNNELLS: Right. Okay, thank you very much, Mark.

12 PETERS: Okay.

13 RUNNELLS: I think we're going to have to terminate the
14 questions at this point.

15 Our next presentation will be by Tom Buqo from the
16 Nye County Hydrology Program, and I have two things I want to
17 mention before Tom gets started. Number one, the Board had
18 the opportunity, thanks to the Nye County people, to visit
19 three of the wells that are involved in the Nye County
20 program when we came out here the day before yesterday. And
21 I want to thank very much the Nye County people, Nick
22 Stellavato, Tom Buqo, Parvis Montazer, and half a dozen other
23 folks who were our hosts and hostesses. It was a very nice
24 trip. We also visited the Oasis Valley study site, and we
25 had there hosts from the USGS. So I want to thank those

1 people.

2 The second announcement with regard to Nye County
3 is in the back room back here, they have set up a
4 demonstration of the West Bay sampling devices, and anybody
5 who is interested, is welcome to go back there and see how
6 these West Bay sampling devices are working in the Nye County
7 wells.

8 So with that rather lengthy introduction, we'll
9 wait for the microphone to be attached, and I'd invite him to
10 proceed.

11 BUQO: A couple of quick announcements. In addition to
12 the West Bay out there, again, we'd like to thank you for
13 coming to Nye County. It's very significant that you're out
14 here and we appreciate that effort. There's some road work
15 going on out there. For those folks of you that are trying
16 to push to get to an airplane, figure in another 20 minutes.
17 Those flight people out there live here in Beatty and we
18 want them all back tonight. Okay?

19 Some acknowledgements. We have to acknowledge
20 we're working in a very cooperative environment and we want
21 to acknowledge that that environment exists. We wouldn't be
22 doing this work without the Department of Energy. Of course
23 they're funding it. But more importantly than that, is that
24 we have a true spirit of cooperation going on I think between
25 all the participants in this program, and that's assisting us

1 in doing this work, and hopefully it will assist us in
2 collecting the data that people need collected.

3 And, finally, a little bit of our own disclaimer.
4 I can't speak on behalf of Nye County, and I'm here to
5 basically summarize the information. We have limited
6 resources. We've got a team of 10 to 15 people that we can
7 bring to bear on this, and we're not experts in every single
8 discipline out there. We just do not have that capacity. So
9 when I present things, I'll be talking about what our
10 speculation is. In some cases, we are not in a position to
11 be able to state definitively here's what these data mean.
12 We're taking our best guess at it, and we're doing the best
13 that we can, and we're going to try not to overstate things.

14 I want to give you a little interim status report.
15 We're breaking up our evaluation for the data into some
16 functional areas: hydrostratigraphy, aquifer testing, water
17 chemistry. We covered those quite a bit on the field trip on
18 Monday. We're going to do a little bit of rehash on that.
19 Today primarily we're going to be talking about the hot water
20 and the Phase 2 plans.

21 I'll give you a little background on the program.
22 September, October, November were very busy times for us. We
23 had to get our plans and procedures into place. We had to
24 get our BLM permits in. We had to get our funding all lined
25 up. We sat down at a meeting in mid October and Nick said,

1 "Realistically, when are we going to start drilling," and I
2 looked at him and said, "November 30th." Well, we got our
3 funding November the 27th. We got our BLM permit on the
4 29th, and we were able to actually start drilling on November
5 the 30th.

6 December, January, February, we were drilling.
7 Okay? We generated a great deal of data. We continued our
8 well completions into March. In March, we made an effort to
9 get this out. This is how I spent my March, putting together
10 the data package. We distributed this, what Nick, to about
11 60 different people.

12 As we generate new information, we will be sending
13 out updates to this. We've gotten some feedback from some
14 people, found a couple of glitches. When we send that out,
15 we'll be sending out an errata and explaining things that
16 people have had comments on. I think it's good, because that
17 shows us that people are actually using this data.

18 Under hydrostratigraphy, we started out, this was
19 our conceptual model over here, based on Felderhoff 25-1.
20 What we found in reality is confirmed some of these things.
21 The valley-fill deposits in Amargosa Valley are indeed quite
22 variable. It's not a single layer system of alluvium, as it
23 appears in some of the models. We have suspected that there
24 are preferential pathways for groundwater flow and, hence,
25 contaminant transport. We went out and did some testing and

1 found out yes, indeed, there are preferential pathways.

2 We suspected that these volcanoclastic sediments
3 may have a pronounced impact on flow. Again, the drilling
4 confirmed it. In areas out there, they do have a pronounced
5 impact on flow, especially with respect to this situation at
6 the Pavits Spring formation, being juxtaposed up against a
7 block of volcanics, resulting in shallow groundwater and the
8 formation of some paleospring deposits out there.

9 Based on that, we think some of the geophysical
10 interpretations that we used in our work in siting our wells
11 may need to be revised.

12 We've done a lot of work with the USGS. They've
13 been helping us a lot. They gave us geophysical
14 interpretations, so we have Felderhoff well sitting down here
15 where the carbonates are known to be 2200 feet. Based on
16 that, we follow this contour around, and we thought over here
17 at 1-D, it should be about 2500 feet, too. Well, we drilled
18 it 2500 feet, and although we think we were getting close, we
19 didn't hit any carbonates.

20 Well, we're concerned that the geophysical models
21 maybe use the properties of the volcanics in other areas to
22 come up with these interpretations, and now maybe we have to
23 go back and rethink that and reprocess the data with new
24 information that reflects the properties of the Pavits
25 Springs.

1 And finally, in hydrostratigraphy, we're finding
2 that the compartmentalization of the aquifers complicates the
3 definition of hydraulic gradients. And one thing I'll be
4 stressing to day over and over is don't try to make too much
5 of this. Right now, we're in the first stage of an
6 exploration program, and we've got a lot of work to do and a
7 lot of thinking to do.

8 Here's a cartoon that we put together that shows
9 our basic hydrostratigraphy, what we think is going on, a big
10 thick layer of these tertiary sediments sitting down here,
11 and depending on where you are in the system, it can have a
12 pretty pronounced effect on things.

13 Again, the geophysical interpretations may need to
14 be adjusted, and we know that within this conceptual model,
15 we've got a bunch of permeable pathways for flow.

16 We're doing more than just drilling. Every chance
17 we get, we go out and do some aquifer testing. For our wells
18 that we've completed, before we put in those West Bay
19 completions, we go out and we do a constant discharge aquifer
20 test that gives us a composite water chemistry sample, and it
21 gives us some composite hydraulic characteristics on it. So
22 we've sampled three shallow West Bay wells. We came over
23 last month--or actually, earlier this month, and did a 48
24 hour constant discharge test at one of the wells at Lathrop
25 Wells.

1 This turns out to be a real important well. It
2 saved us a lot of money. We were going to go in and put in a
3 well at 4-D, and I'll show you on this map, 4-D is sitting
4 right about here approximately. It was going to cost us half
5 a million dollars to put in this well because it was going to
6 have to be large diameter. We wanted to get several thousand
7 gallons a minute out of it so that we could use our other
8 wells as monitoring wells.

9 Well, the lady up at Jackass Aeropark was kind
10 enough to allow us to shut off her water for five days, pull
11 her pump out, put in a higher capacity pump, and do a quick
12 and dirty 48 hour test around there while we monitored.
13 Based on the result of that, and her cooperation, we're not
14 going to need to drill that half a million dollar well. We
15 can spend that money elsewhere in the program.

16 So later on this calendar year, but not fiscal
17 year, we plan to go back in, put in a larger test, larger
18 volume pump, and do a longer test with better
19 instrumentation.

20 July the 6th, in cooperation with the Park Service,
21 we're going to be going in and testing a well completing in
22 the Stirling quartzite over here. That will give us better
23 definition of what leakage we may be getting across the
24 Funeral Mountains.

25 I'll talk a little bit more about the Lathrop Wells

1 test. It's really important to us, and the reason why, the
2 Lathrop Wells you see now is not what you saw five years ago,
3 or even two years ago. It's quite different as you're
4 driving up through here, and Nye County believes that it's
5 going to be quite different ten years from now, and even more
6 different 20 years from now.

7 I'd like to point out BLM has designated land for
8 disposal to Nye County for a business park at Gate 510.
9 We're moving forward with the concept of a science and
10 technology corridor along Highway 95. We plan on putting a
11 big time science museum up there if we can get the funding
12 from the federal government, and we hope that we can. So we
13 see big changes happening up there.

14 One of our concerns has always been as Nye County
15 grows, and we're using more and more water, what is the
16 impact on the water table going to be, and is that impact
17 going to extend to Yucca Mountain, and do we have to take
18 those things into consideration.

19 Pahrump is booming. We project that by the year
20 2050, there will be a minimum of 150,000 people living in
21 Pahrump Valley, with an associated water demand of 80,000
22 acre feet a year. Right now, they're pumping 30,000 acre
23 feet a year. We don't know what the impact of that is going
24 to be, but we do feel that we'd better take this sort of
25 thing into consideration.

1 So getting back up to Lathrop Wells, we've got
2 different types of wells up there. We've got a big thick
3 clay layer that we think is somehow associated with the
4 Pavits Spring that thickens over our Washburn Well that we
5 put it. It was only seven feet thick. As you move eastward,
6 it gets thicker and thicker and thicker. By the time you get
7 over here to 5-S, it was 450 feet thick.

8 Well, in the Lathrop Wells area, there's different
9 types of wells. If it's an individual living in a trailer up
10 there that only needs five gallons a minute 20 minutes a day,
11 he can get by with a 500 foot deep well that just penetrates
12 the alluvium above the clay. If it's a commercial operation,
13 they need more water, they have to bite the bullet and they
14 have to drill a well, in the case of Fort Amargosa, the new
15 development up there, it's a 1280 foot deep well. So they've
16 gone through and they penetrate the alluvium above the clay,
17 some sands and gravels within the clay, and then they get
18 beneath it and produce out of there, too.

19 So our pumping well is over here diagrammatically
20 shown, that as we pumped it, we wanted to determine what the
21 response was in each one of these zones. Amazingly, we saw a
22 response in our own observation wells in both Washburn and 5-
23 S. Before we started, we had to figure out where we're going
24 to spend our resources, where we're going to put our
25 transducers and data loggers, and so on. So Dr. Montazer did

1 some analytical modeling, and based on that, we thought,
2 well, we'll have this much draw-down after this much time
3 this far out. We got in there and started pumping it and,
4 well, we found out that first of all, we could get more water
5 than we thought, 1300 gallons a minute with 125 feet of draw-
6 down, and that those impacts went much further than we
7 thought that they would. And it wasn't higher
8 transmissivity. It looks like some real complications in the
9 storativity out there.

10 We generated a lot of data when they're processed.
11 Analyzing it now, and it's going to take some time to do
12 that. Again, the purpose of doing this test is simply to
13 design the long-term test.

14 Moving on to water chemistry, all we've got right
15 now are preliminary results. They're starting to filter in.
16 We've got completed results for the first water. During
17 drilling when we hit water, we immediately stopped drilling
18 operations and called the geochemist to come out and sample.
19 That included scientists from the National Labs, it included
20 the USGS scientists, it included our own Dr. Don Shettl that
21 would come out and collect samples.

22 Then we did, after our wells were completed, more
23 extensive sampling in May where we had our individual zones,
24 we went in and sampled those. We don't have those results
25 yet. Therefore, I bring your attention to the statement at

1 the bottom, "Don't try to make too much out of this until we
2 have those results in."

3 But in a nutshell, there's our preliminary results
4 plotted on a Piper diagram. Now, what I did here is I
5 plotted our results and the USGS results for the same wells.
6 Good news. We got the same results. We're up here at site
7 one, the USGS data plot is right up with ours. Same thing at
8 3-D, and so on. So we feel very comfortable that we're
9 generating similar results, and that means that down the road
10 we can kind of divvy up who's doing what, and not have to do
11 so much replication.

12 Then I plotted some data from some of the published
13 literature, primarily Benson and McKinley, where they had
14 looked at water chemistry in the repository area at H-1, H-3,
15 P-1 and then some in Crater Flat. Well, look where P-1 plots
16 up. P-1, if you'll remember, is a well that penetrates all
17 the volcanics and gets down into the carbonate aquifer.
18 Chemically, it is almost identical to what we're seeing at 1-
19 D. We think that's kind of interesting.

20 We've got an outlier up here, which is 5-S, it's
21 geographically the furthest located, and it's complicated
22 because it was the old sample and it may not be
23 representative of the groundwater. We have to take a look at
24 that and see. We've got some additional work to do to
25 develop that well before we feel that it's really going to be

1 giving us a representative sample.

2 3-D, we show some separation between the USGS
3 result here and our sample, and what that separation is is
4 the difference between a pumped sample down here coming out
5 of the entire borehole, versus our first water sample here of
6 dirty, crummy water that you bail out of the open borehole.

7 The water chemistry for J-12 and Jackass Flats is
8 just like 2-D and 9-S, and again, the P-1 to us is quite
9 significant because that tells us we've got water coming up
10 from the carbonates.

11 Okay, let's talk a little bit about this hot water.
12 First, there's some limitations, and we have to take these
13 limitations into consideration, so we don't try to make too
14 much out of it just yet. Yes, we do see steep temperature
15 profiles. Those were done with geophysical logging,
16 temperature logging in an open borehole. So direct
17 comparison with what you see in the published literature is
18 difficult because those were done in cased boreholes.

19 But we can make some basic observations. First of
20 all, we're seeing significantly higher thermal gradients in
21 the vicinity of 1-D and 3-D. When we look with the strontium
22 data, it suggests that these thermal signatures may not be
23 reflecting a single source. Strontium, the highest strontium
24 values in the region were found at 1-D. The second highest
25 strontium values in the region were found at P-1. We think

1 that's a good piece of evidence there.

2 Over at 1-D, we think we have a really significant
3 contribution from the carbonate aquifer. We've got high
4 temperature and high strontium. Over at 3-D, we're seeing
5 strontium and high temperature, but it's a steeper gradient.
6 It's lower temperature overall, and it's lower strontium.
7 So we're either getting less of a contribution, or it's being
8 buffered because we've got to get that water through a couple
9 thousand more feet of sediments before we can get it up to
10 where we're sampling. And then finally the gamma spike at 3-
11 D may be providing additional clues.

12 So here's apples to oranges. I took the work out
13 of some of the old Yucca Mountain studies and I plotted up
14 the bounding values for those, and it turns out that H-4, P-1
15 generally bound the range of temperature profiles that were
16 found and were reported in the literature. I simply plotted
17 on top of this the results of our geophysical logs. So bear
18 in mind this log here, while the profile is probably pretty
19 good, it might translate back that way when we go back and do
20 it in a cased hole. But as you can see, we have much steeper
21 gradients than we've ever seen anywhere out there, and we've
22 got some real breaks in things.

23 Where we get a big change in gradient like there,
24 there and there, we can correlate those with our caliper logs
25 and say, well, this is where the fractures are. And that's

1 why we went in and put West Bay completion specifically at
2 those zones, so we'll be able to come back now and get
3 chemistry for those and be able to monitor pressure and
4 temperature over a longer period of time.

5 And I said the gamma spike was kind of interesting,
6 and we spent some time working with that because we like to
7 know. The top figure shows what it looks like on the
8 geophysical log, just this huge spike in the gamma log. It
9 fried out the neutron log and every nuclear log, we got a
10 similar response. So we decided we'd better take some time
11 and look at this, so the first thing we did was rerun the
12 logs to make sure that it was real. Well, it was real. It
13 showed up on all of them.

14 We had our petrographer, Dr. Morgenstein at
15 Berkeley, do some detailed evaluations of it, and then we're
16 looking at it in terms of the water chemistry, too. Based on
17 our preliminary results, here's the observations that we can
18 make.

19 It occurs over a very tight horizon. Down here
20 below, we've blown it up. And you can see the spike comes in
21 at a very short interval here from 495 to 507 feet. It's
22 near the base of a thick volcanic unit, which is probably
23 Bull Frog Tuff, that's what the M&O stratigrapher said it
24 probably is, and it's a the black ash flow tuff. It's kind
25 of significant because we were logging a lot of holes out

1 there. This is the only place where we recorded the color
2 black, innate on the Munsel scale.

3 The petrography work says that there's a magnetic--
4 they went through and they looked at the magnetic
5 susceptibility over a much larger interval, and they found
6 that it coincides, the highest magnetic susceptibility
7 coincides with that gamma spike and is probably related to
8 hematite.

9 Well, that's interesting and we'll get to that.
10 The peak uranium activity also coincides with the gamma
11 spike. There is no potassium or thorium spike, so that says
12 we're looking at uranium.

13 We got pyrite present through the entire interval
14 of this Pavits Spring, and that tells me that it was
15 deposited in a reducing environment. So our petrographer
16 comes back and says, well, yeah, you've got pyrite present
17 for the entire interval, but you also have abundant iron
18 hydroxides and oxides, goethite, limonite and locally
19 magnetite. Well, then says it's obvious you have pyrite and
20 magnetite, that you have a situation with thermodynamic
21 disequilibrium.

22 Well, I'm the guy at Arizona that used to run
23 screaming down the hall when they pulled out the phase
24 diagrams in petrology, but Dr. Morgenstein, so I believe him.
25 We don't know what the uranium mineralogy is yet, but he's

1 going to be taking a detailed look at that, because we really
2 want to know.

3 And another interesting observation is although
4 this well has an elevated temperature profile, the gamma
5 spike coincides with the lowest temperature in the borehole.
6 So based on that, we scratched our heads, we did a little
7 speculation, and we said, well, how can we get that gamma
8 spike up there in that uranium, and we came up with a very
9 simple four step process.

10 We know that we've got a sender coming out there,
11 so we're saying injection of magic magma, it's coming up a
12 dike feeding the Lathrop Wells. That's step one. Step two
13 is you have a pulse of uranium enriched water that's moving
14 upward through the Pavits Spring to the base of the overlying
15 volcanics.

16 Now, we don't know, we don't think that the uranium
17 came out of the carbonates, because it wouldn't be a source.
18 It would have to be the volcanics. So hot water coming out
19 of the carbonates probably leached the uranium out of the
20 lower portions of the volcanic sequence, and then they
21 brought it up until they hit this one reactive bed. So
22 you've got the groundwater that's oxidizing the iron in the
23 volcanics. That's what gives us our coexistence of the
24 pyrites and the iron oxides in this reactive bed, and then
25 the uranium is deposited in the lower volcanics as a front at

1 the chemical boundary.

2 Other observations are that the temperature profile
3 that we see now may be a remnant of what was a much steeper
4 profile associated with the volcano. The lower strontium
5 values suggest that upwelling of hydrothermal water from the
6 carbonate aquifer is not as likely, or maybe not in the same
7 order of magnitude.

8 We're going to be doing additional work with that,
9 additional petrographic studies to determine exactly what
10 uranium minerals we're looking at. We're going to be
11 collecting water samples from the two zones--well, we already
12 did it in 3-S. The results are pending, and one of those
13 zones is located right there.

14 So what's next? On the issue of hot water, is
15 we're going to evaluate the results from the May 1999
16 sampling effort when they come in. We'll be taking a look at
17 sodium potassium, silica geothermometers to see what sense we
18 can make out of it. But what we really want to see is the
19 strontium profiles on it. We want to see that vertical
20 segregation to see, at P-1 where we had previously the
21 highest strontium concentrations, they increased a lot with
22 depth and we want to see are we going to have that same sort
23 of increase with depth, because that tells us we've got water
24 coming up from the carbonates.

25 We're going to go in and we're going to log the

1 casing strings at 1-D. So we'll use our existing West Bay
2 temperature probe, go in and log that, and that will allow us
3 to make an apples to apples comparison between the logs that
4 we've got and the published literatures.

5 And any suggestions, I mean if somebody thinks
6 there's something we should do, if there's something you want
7 to do, we've got a borehole, you're welcome to come play in
8 it.

9 Okay, Phase 2 plans. We've done a lot of thinking.
10 We're looking. We had a postmortem on our drilling earlier
11 this month to look at ways that we could do things better, to
12 get better data, and to make sure that where we're drilling
13 is at the best locations.

14 We've got a 2500 foot deep borehole sitting out
15 there at 3-D, and we still haven't hit the carbonate
16 aquifers. This hot water threw us for a loop for two basic
17 reasons. The West Bay equipment that we'd already purchased
18 doesn't function over 40 degrees C. They will not certify
19 it. So, therefore, once we got over 40 degrees, we can't use
20 the equipment we've got. We've got to go with stainless
21 steel, and it's a lot more money and we didn't have it.

22 So we said, okay, we'll leave this. We're going to
23 have a deeper--oh, the other thing was the drilling
24 limitations. When we got down to 2500 feet, the O-rings
25 started heating up and they started blowing O-rings and

1 seals, so we had equipment failure, and the driller was ready
2 to--you know, one day I said, well, can't we go to 2700, and
3 the driller is wanting to pack his suitcase and get out. So
4 we're going to get a deeper capacity rig out there with the
5 capability of going 6000 feet. We're going to take 3-D down
6 deeper.

7 We are hoping that we will hit the carbonate
8 aquifer. We can't guarantee it because we don't know how
9 deep it is. We know that we do need that point so the
10 geophysicist can go in and we'll have two points in the
11 carbonates. We want to give them a third so they can
12 triangulate and reprocess all their data, and give us a
13 really good top of paleozoic surface.

14 Okay, we want to obtain a deeper temperature
15 profile to see what happens at depth in that borehole, and
16 collect as many vertically distributed samples as we possibly
17 can for chemical analysis.

18 We're going to do a longer term, higher discharge
19 aquifer test at the Jackass Aeropark well. We've spoken with
20 the lady and she'll allow us to come in after the growing
21 season, and we can go in and pump it as long as we want. Our
22 intent here, we're going to go in and analyze the data we got
23 from the preliminary test. We got two different sides. Our
24 reservoir engineer says, well, you might not really have to
25 pump it any more, you might just have to pump it longer.

1 And I'm from the old school of hydrology, more is
2 always better, so we'll sit down and we'll plug in real
3 values in our analytical models, and it will tell us if we
4 need to pump it for five days, seven days, ten days, 30 days,
5 whatever it is, because we have to get our permits from the
6 State and our discharge permit, and so on, and our waiver
7 from DWR. It's all doable, but we just have to do some more
8 analysis.

9 We're going to change the test well that was
10 planned at 4-D at half a million bucks to a couple of
11 peizometers, one set above the clay and one set below the
12 clay. So for \$40,000, we've just gotten the same information
13 as having to spend half a million before.

14 We're going to change 12-S from a monitoring well
15 to a test well. 12-S is in the vicinity of the old Rosie's
16 well, just on the other side of Highway 95 in the vicinity of
17 1-D, 9-S and 3-D. And based on our results, we want to know
18 if we go on the Valley side of the Carrara Fault system and
19 start pumping the water, are we going to get leakage across
20 that fault. So we plan to do a test there.

21 We're going to investigate the spring deposits,
22 aquifers and water levels in Crater Flat. At 7-S, we see an
23 analogous situation there where we also have paleospring
24 deposits. We were really surprised at 1-D. When we did our
25 work, we thought we'd hit water at 330 feet below land

1 surface, because that's what all the regional data said. We
2 got out there and hit water at 50 feet, so we knew
3 immediately something is going on here, and we got the
4 feeling that the hydrostratigraphy was such that the water is
5 flowing through the system, it hits this big thick plug of
6 Pavits Springs, it can't go through it as fast, so it stacks
7 up behind it.

8 We think we may be seeing the same thing at 7-S, so
9 we want to go in there and see just exactly how deep is the
10 water there. So we wanted to find the depth water in the
11 paleodischarge area, and we wanted to find gradients in part
12 of Crater Flat. Now, the reason I say part of Crater Flat,
13 it again gets into this thing of how much do you need to
14 drill to start defining things. When we drilled at 1-D, we
15 got surprised. The water table is a lot higher than we
16 expected it to be.

17 Well, if we go and drill at 7-S, we may find
18 something different, but we can't correlate between 7-S and
19 1-D. We can't just simply take the heads and say this is the
20 gradient, because they may not be related. We've got a big
21 structure, a big linament between 7-S and 1-D, so we may have
22 totally separate hydraulic gradients representing different
23 compartments within the aquifer.

24 And we're going to do additional deep and
25 intermediate drilling. Right now, we're planning on doing

1 four additional deep wells, 6-D, 12-D, 15-D and 20-D. Those
2 are all distributed in the lower end to give us more
3 information down towards our receptors. And intermediate
4 drilling depths at 7-S, and we're going to start working our
5 way up Fortymile Wash.

6 So that's a real quick overview. Oh, one other
7 thing. Some of the stuff I showed today is not available in
8 the handouts. I hope all of the Board members got copies of
9 the handouts from the field trip. If so, you've got
10 everything. We've got a limited number and we have to
11 prioritize them for the state, the effective units of local
12 government, and the public. Come see me afterwards, and
13 we'll get you sets. Anybody else, talk to Nick and we'll get
14 you copies of them. Thanks.

15 RUNNELLS: Thank you, Tom. You covered a huge amount of
16 material in a very short time, and I'm going to steal the
17 first question.

18 Your comment on the fact that the water
19 temperatures show a much steeper gradient than anywhere else
20 around here, I think you said, when you look at your chart,
21 it's about 20 degrees Centigrade, it's about 20 degrees per
22 kilometer of gradient. What is normal for around here? Why
23 does that amount surprise you relative to other locations?

24 BUQO: Well, you know, the more I read, the more I
25 wonder myself, and the reason I said higher is because I'm

1 looking at the results for Yucca Mountain. But then Bill
2 Dudley in Colorado was nice enough to send me this work he'd
3 been doing, and then I see, well, actually we're sitting
4 there in this one geothermal low in the area, and now maybe
5 this may not be as anomalous, and it may be a situation where
6 it's anomalous with respect to Yucca Mountain, but we're
7 outside that low now, and it's not anomalous for the part of
8 the geothermal regime we're in there.

9 RUNNELLS: Yeah, because it doesn't strike me as an
10 outrageous geothermal gradient by any means for this part of
11 the world. Thank you.

12 Other questions from the Board? Debra Knopman?

13 KNOPMAN: Knopman, Board. If money were no object, and
14 you had the ability to drill another 10 to 20 wells, where
15 would you put them and why?

16 BUQO: Well, I would start putting wells in the vicinity
17 of the wells that we've already got to define gradients,
18 because, you know, in an exploration program of this nature,
19 you dig up more questions than you answer. So we found the
20 depth of water over here was 50 feet, and the potentiometric
21 elevation is 786 meters. Well, our contour says it should be
22 700 meters. I want more definition right in here so that I
23 know what the gradient is from this point into Amargosa
24 Valley, because I want to calculate the flux of groundwater
25 that's going through this part of the system.

1 If I come back up here to 7-S and punch in a hole,
2 which we plan to do, I can't use that reliably to get my
3 gradient. I'd have to have additional wells around 7-S. So
4 if money were no object, I'd want more definition of the
5 gradients right off the bat. Deeper wells would be the other
6 thing, and more testing.

7 Now, we have logistical problems that if money were
8 no problem, in talking with the USGS, these wells that we've
9 got going up Fortymile Wash, they would prefer to see those
10 on the west side of Fortymile Wash. And their point is very
11 well taken, and we're going to take a look at that, but
12 there's the realities of things. There's no roads out in
13 this part of the test site, so that means we're going to have
14 to get in there and bulldoze a road to get to some of these
15 sites. We have to get a lot more environmental clearances
16 and that sort of thing, and the cost of doing business on the
17 test site is a little more than it is doing it off of the
18 test site.

19 So we certainly want to put more wells in the
20 vicinity of Fortymile Wash because we still believe this is
21 our number one pathway to get anything from the repository to
22 our receptor populations down here in Amargosa Valley. The
23 fact that we found high water in this area suggests to me
24 that that is acting as a hydraulic barrier, that we're not
25 going to be getting any contribution. That was one of our

1 concerns, all these faults sitting in here going like this
2 and this, that we could be getting some communication through
3 that area. But if the water table here is higher than here,
4 we're not going to be getting that communication. That
5 forces us here and says we should be spending more time over
6 here.

7 RUNNELLS: One last quick question from Priscilla
8 Nelson.

9 NELSON: Nelson, Board. I've got two. One is real
10 quick. Does it make any sense or can you or do you have
11 plans to do anything with age dating of the water? Given the
12 difficulty in completing the wells and everything else, is
13 there any--

14 BUQO: No and no. We're not going to be doing age
15 dating, but the USGS is, I believe. Zel, are you guys going
16 to be age dating this water?

17 PETERMAN: Yes.

18 BUQO: Yes.

19 NELSON: Okay. And just the end of that, you've got a
20 lot of people doing a lot of different things on the water
21 coming out of here.

22 BUQO: Yes.

23 NELSON: Who's in charge of integrating all of that?

24 BUQO: From the Nye County point of view, Nick and I.

25 NELSON: Right. But you're producing data, USGS is

1 producing data, other people are producing data. Who's in
2 charge of pulling that all together in your mind?

3 BUQO: Well, in my mind, each organization has their own
4 principal investigator, and Zel and I talk and I assume he's
5 taking the lead with respect to the USGS, and their
6 capability of doing geochemical analysis is superior to
7 anybody. So they're going to look at it from their
8 perspective, and they'll do their interpretations. We look
9 at it from a different perspective, and we may come up with
10 something different. Well, then we can sit down with the
11 same data and talk back and forth and see who's right, who's
12 wrong. In some cases, both of us may be right, and in other
13 cases, it may just point to the need for additional data
14 collection, that we can't resolve it, and in other cases, it
15 may be that we're clearly both wrong.

16 DIXON: Paul Dixon. Zel Peterman and June Fabryka-
17 Martin are doing a joint AMR on the geochemistry issues in
18 the UZ and SZ, and that AMR will incorporate this information
19 in the revs as they go up. So as the information comes in
20 collected, at least within the M&O, affected organizations
21 and the interpretations of the data collected from Nye County
22 that the M&O uses, that will be incorporated in those AMRs
23 and used in the PMRs in the future. So the integration will
24 come through the AMRs.

25 RUNNELLS: I'm afraid we're going to have to terminate

1 this. I'm sorry, sir.

2 SHELL: Just one quick comment.

3 BUQO: He's our geochemist.

4 RUNNELLS: Okay.

5 SHELL: Don Shell from Nye County. We are running
6 Chlorine 36 and radiocarbon analyses on our samples. So we
7 will be getting into some age dating.

8 RUNNELLS: Thank you very much. I'm sure there are
9 many, many questions. Please grab Tom separately and chat
10 with him, because we do have to move along.

11 Our next presentation is by Paul Dixon, who just
12 had a short comment here a moment ago. And he's going to
13 give us an overview and a summary of the work being done on
14 Chlorine 36, Chloride data and other issues related to
15 hydrologic flow and hydrologic pathways. Paul?

16 DIXON: I guess where I'll start today with everybody is
17 that the work that I'm presenting here today, I'm
18 representing the work being done by June Fabryka-Martin and
19 her team of colleagues working on Chlorine 36 and Chloride
20 mass balance.

21 This is the first slide here. One of the purposes
22 and kind of just a general overview, and I'll skip over a few
23 slides and just move along, since I have a short time period
24 here, one of the things I want to look at here is the whole
25 purpose of the Chlorine 36 study and the chloride mass

1 balance study as they stand now is to try to understand flow
2 rates and pathways. And the reason for wanting to
3 understanding some of this in the mountain overall is that
4 these pathways may become potential seeps in the future under
5 different climatic conditions, so we're trying to understand
6 how water moves through the mountain.

7 The objectives here, the project has conceptual
8 models and is trying to help constrain some of those
9 conceptual models on UZ flow and transport, based on
10 measurements and simulations using Chlorine 36 and chloride.
11 You guys can read through the specific objectives here at
12 your own leisure, but there's a list of things that she's
13 trying to address here.

14 The approach here is to try to develop a pretty
15 extensive dataset of Chlorine 36 and Chloride porewater
16 concentrations for the UZ, from ESF, cross drift, as well as
17 surface based boreholes. Then having gotten this
18 information, use the detailed structural and petrologic
19 characterization at each sampling site to try to put this
20 into some sort of a geologic context. And that's why on the
21 cover slide, you see there's a team of people that work on
22 this, people from USGS, modelers, and the infiltration
23 people.

24 And that's really the key to what I think is making
25 this study important, is that it integrates a lot of the

1 different disciplines and gives you an answer that is not
2 just looking at the Chlorine 36, but it's integrating it with
3 a lot of other parts of the program.

4 And then to try to test the models through
5 simulations of Chlorine 36 transport, using our most current
6 infiltration geologic models and hydrologic parameter sets.
7 And then, finally, try to test once you have these conceptual
8 models, looking at some of the predictions we've done in the
9 cross drift.

10 This is just kind of a background slide for some of
11 the new members on the Board and other people, just to kind
12 of give you a background on where we are.

13 And this, again, is just another one of those for
14 people for background, and I don't need to spend time with
15 them right now.

16 To date, right now, sampling in the ESF and cross
17 drift excavated beneath Yucca Mountain, we have almost 250
18 samples that have been analyzed for Chlorine 36. 13 per cent
19 of those have an elevated Chlorine 36/Chloride ratio, and
20 we'll talk about that in a few minutes. And 40 samples to
21 the end of this last month have been measured for chloride
22 porewater.

23 Just a reminder, the bomb-pulse Chlorine 36 is a
24 fortuitous tracer and it's one of the simplest ways that we
25 have right now of identifying pathways where water has

1 travelled in the last 50 years, at least to the depth of
2 either the cross drift or the ESF.

3 For some of you, this has old data, it's got a
4 little bit of new data on here because June has put some of
5 her porewater data on here. This is a review of all the data
6 along the ESF for Chlorine 36. And in general, you see most
7 of the data falls within the blue band, or slightly below it.
8 There are elevated values above what we consider to be an
9 estimated meteoric signal over the last 50,000 years.

10 What June is trying to do and has done, I'll show
11 you in the next several slides, has done a statistical
12 analysis of this dataset now that it's this large, to try to
13 break it into what are the components and can you define in a
14 mixing model to give you an idea of how these components
15 break out. Note that the porewater shown in the little solid
16 boxes there that are larger, tend to be in fairly good
17 agreement with what we've been measuring out of the rocks to
18 this point in time.

19 This is the statistical analysis that June has one
20 of the statisticians at Los Alamos working on, basically
21 looking at the distribution of the Chlorine 36. Here, this
22 is the roughly 250 samples. You can see that you have a long
23 right tail that's well above background here, and values
24 here. You seem to have a bimodal central distribution, and
25 then you have a small fraction of values at the lower end

1 here. So the object was was to try to see how you could
2 break this up statistically.

3 If you look at what's been done to date, we know
4 that the middle part of this curve is a combination of
5 Holocene and Pleistocene signals. Mitch Plummer, who did
6 pack rat middens down at Sequoro, has actually supplied what
7 some of that curve would look like over the past 40,000
8 years, 50,000 years. We know we have a decayed signal where
9 you have decayed Chlorine 36 and a bomb-pulse data. You can
10 actually put together a mixing model where you can break up
11 these different components and it actually fits the data
12 extremely well.

13 And on the next slide here, this is just to kind of
14 give you, looking down the ESF at this point in time, to kind
15 of give you an idea of how that different components break
16 out as you go down the tunnel. And what you'll notice is
17 that as you get down further in the tunnel, as you come into
18 the south ramp, you'll notice you see a lot more decayed
19 values. And this is evidence that you have very slow
20 groundwater travel times in this area, and as I go through
21 the further parts of this talk, this is backed up by some of
22 the chloride mass balance data, and it's also backed up by
23 the more current infiltration models. And by and large, this
24 is related to alluvial cover in the south ramp where you're
25 not getting water into the rocks, even though you have a

1 thinner PTn at that region.

2 There's been in the past a lot of criticism about
3 whether the elevated signals are actually truly related to
4 bomb-pulse and things. We do have the validation study going
5 on with the USGS right now. Lawrence Livermore Laboratory
6 will be looking at, as Mark said, Technetium 99. Purdue will
7 be redoing some of the Chlorine 36, and they're also going to
8 try to look at Iodine 129 in these.

9 In one area where we do have coeval data that's
10 been measured in the past, I just want to show an example
11 here of, is the fact that in places where we do see elevated
12 tritium, we also see elevated Chlorine 36 in the tunnel,
13 which is a very, from my perspective, a very good indication
14 that we are looking at true bomb-pulse getting down to this
15 level of the horizon, and it's not some other process.

16 To date, this is the preliminary data that June has
17 to date on the cross drift. I don't know if you guys have
18 seen this yet or not. Bottom line is that she has more
19 samples extracted and ready to analyze, but at this point in
20 time, funding has been stuck towards getting AMRs and other
21 things right now rather than spending it on analysis of
22 samples in the short-term here as we try to get these reports
23 and data qualifications done.

24 But what's interesting here is that as you go along
25 the cross drift, in general, you don't see much of an effect

1 of things like the Sundance and stuff at this point in time,
2 but where you get out here where the TSw is exposed and
3 you're out by the Solitario Canyon, you notice that you start
4 seeing extremely high values of Chlorine 36, meaning that the
5 PTn does play a major role in this, and where you don't have
6 the PTn covering, you have exposed Topopah Springs. Water
7 gets down to this level very, very quickly in the system.

8 You guys have all probably gone through this once,
9 but I'll go back through it again. The conceptual model
10 right now for getting water down to the tunnel is based on
11 the fact that you have a continuous structural pathway from
12 the surface to the depth of the tunnel, be it the ESF or the
13 cross drift.

14 The magnitude of surface infiltration must be
15 sufficiently high to initiate and sustain at least a small
16 component of fracture flow. And the tests from Alcove 1 kind
17 of give you some indication that you've got to have fairly
18 high rates along certain saturated pathways to get water to
19 come down the system, or even get it to drip. So that's kind
20 of--you start to get some idea that you've got to have
21 wetting pathways and you've got to have a high infiltration
22 rate that's concentrated for some period of time.

23 And the last thing is that the alluvial cover has
24 to be thin enough so that the residence time in that is
25 probably less than 50 years. Otherwise, you're not going to

1 see this. So as the alluvial cover becomes thicker, and in
2 general this is probably less than a meter of alluvial cover,
3 and you also have to, if you have thin alluvial cover, you
4 also have to have elevated infiltration on top of that. So
5 it's a combination of these factors, not one or the other,
6 that makes this happen, but it's the combination of all three
7 factors in series.

8 Andy Wolfsberg, you guys have seen this in the
9 past, people have always wanted to know can you get a handle
10 on what the infiltration might be based on the Chlorine 36.
11 Well, one of the ways you can do that is you can take your
12 conceptual model and you can say at different infiltration
13 rates, when could I, with this conceptual model, get bomb-
14 pulse Chlorine 36 down to the level of the tunnel. And what
15 you notice is that at low infiltration rates of .1 or so,
16 even with a fault in the system, continuous fault all the way
17 in the system, you can't get Chlorine 36 down to the level of
18 a place like the ESF.

19 But on the other hand, at higher infiltration
20 rates, where the minimum case here is 5, and above five it
21 becomes easier, but at a minimum case of 5 millimeters per
22 year, it isn't until you put a fault into the system, or a
23 continuous pathway, even if you have high infiltration and
24 thin alluvial cover, that you can get Chlorine 36 down to the
25 level of the tunnel.

1 So you can start to bound with Chlorine 36 what the
2 infiltration might be. You can say definitively, but you can
3 start to put bounds on where you might be with that, so you
4 can get a bounding information.

5 What I'd like to do now is talk about the chloride
6 mass balance method, and I will apologize that this equal
7 sign is supposed to be a times here. That was a typo I
8 didn't catch before you guys got it, so everybody who's out
9 in the audience, please make that a times. That's my fault.

10 What the chloride mass balance method basically
11 says is that infiltration, concentration of salts in the
12 infiltrating water is equal to precipitation times the
13 concentration of salt in the precipitation, divided by the
14 concentration of salt you measure in the porewater. So if
15 you want infiltration to equal precipitation, all you say is
16 that concentration of the precipitation is what you measure
17 in the salt. But as you get evaporation and you lose water
18 into the system, concentration of the salt here increases
19 and, therefore, the infiltration, the amount of infiltration
20 decreases as you head into that.

21 So as you get higher and higher salt
22 concentrations, the amount of infiltration becomes less and
23 less. So by using this method, you can get a direct
24 indication of what the infiltration rate is. Now, there are
25 lots of caveats and other things that go into this method,

1 but by and large as a first cut, this is a pretty
2 straightforward way of looking at infiltration, and it's
3 probably one of the best methods that we have at this time to
4 try to address it directly from what we're measuring in the
5 field.

6 In the cross drift right now, we have measured
7 values of chlorides from the porewaters, and then we have
8 calculated from the surface infiltration model, what is the
9 chloride concentrations you would predict from that.

10 By and large, you had fairly good agreement here.
11 And as a first cut through this, there are places where you
12 don't have agreement, and then we're looking into those
13 things right now as they interpret the data to what we see.

14 The estimated infiltration rates above the cross
15 drift, if we look at what the calculated infiltration rate is
16 based on chloride concentrations, that's what's shown here
17 in squares, and then the predicted. So in other words, when
18 we went in before we did the cross drift, we did a series of
19 predictions of what we thought it would be, and then we went
20 back in and measured chloride concentrations, and calculated
21 an infiltration rate. And you can see that there's fairly
22 good agreement, again, with the exception of those several
23 samples in that one area there, which are under
24 interpretation right now, and not fully understood.

25 So overall, the model that's been generated right

1 now for infiltration and stuff appears to be fairly
2 representative at this point in time to what we're able to
3 measure in the field from chloride concentrations.

4 Chloride porewater concentrations from the ESF are
5 shown here versus chloride concentrations predicted using the
6 site scale transport model. What you see is there's fairly
7 good agreement along here, until you get down to the south
8 ramp. And as you remember before when we looked at the
9 Chlorine 36 in the south ramp, it showed decayed values. And
10 what we're seeing here is that our current models here for
11 predicting this are not doing it correctly, because we
12 probably have the infiltration wrong in this system and the
13 current models as they stand, and we have to adjust the
14 amount of infiltration we have in that system, because we're
15 seeing much, much elevated chloride concentrations. We're
16 seeing decayed Chlorine 36, all indicative that we have very,
17 very slow travel times from the surface down to the level of
18 the ESF in the south ramp of this region. Both of these
19 pieces of information combined say the same thing.

20 If we go back in and we do some tweaking on the
21 infiltration model based on what we know, and we look at what
22 we would predict for infiltration versus what we calculate
23 from the chlorides, this is what we actually get here, and
24 you actually get a much better fit when you start to change
25 the amount of infiltration you get in the south ramp, based

1 on the values that we have.

2 And, finally, summary and conclusions. I think for
3 me it was kind of exciting to see that you can actually fit
4 the data for the Chlorine 36 very well with the four
5 component mixing model, based on Halocene, Pleistocene, bomb-
6 pulse and then decayed signal, and it's amazing how well that
7 fit in the four component mixing model.

8 The bomb-pulse observations are correlated with
9 faults in the northern ESF, and that's basically based on the
10 distribution of ratios in the ESF and cross drift, and is
11 supported by elevated pH levels in several deep boreholes and
12 in two ESF alcoves, as well as we have limited Technetium 99
13 measurements that I did when I was at Los Alamos for June,
14 which are also supported with this, although at this point in
15 time, June is holding those out until we get the values out
16 of Livermore before we combine everything together.

17 The average flux at Yucca Mountain is probably
18 higher than 1 millimeter a year, but most likely in the range
19 of 1 to 10, based on the data that we see here today, and
20 that's really based a lot on the chloride porewater
21 concentrations.

22 Model simulations of faults with increase PTn
23 fracture permeability yield local fast pathways from the
24 surface to the ESF, in combination with high infiltration and
25 low alluvial cover thickness, or thin alluvial cover

1 thickness.

2 And there appears to be a large dampening in the PTn of
3 spatial and temporal variations by and large. So the PTn
4 acts kind of as something that has a hysteresis effect on the
5 signals we're seeing. If you take that into account, you can
6 see the signal come out the other end.

7 And the discrepancy between model and observed
8 Chlorine 36/chloride ratios that we saw on some of the things
9 here may be due to the fact, as I pointed out, we have
10 variations--you know, we have an incorrect infiltration rate,
11 and these appear to be supported by the chloride mass balance
12 method, as I pointed out, and there may be more lateral flow
13 in the system than we're able to account for, because the
14 chloride mass balance method assumes a vertical flow through
15 the system. And if you have more lateral time, more lateral
16 transport in the system right now, you're going to see longer
17 travel times.

18 And I'll stop there and entertain questions.

19 RUNNELLS: Thank you, Paul. I appreciate you putting
20 the preparation in to finish that much material in almost
21 exactly 15 minutes. Priscilla Nelson

22 NELSON: Nelson, Board. I'm not sure I understand the
23 difference between the data referred to first of all in
24 Figure 8, which refers to rock samples and porewater sample.
25 Can you explain the different kinds of samples and what your

1 expectation was in having two separate kinds of samples?

2 DIXON: Initially, all the samples that were collected
3 in the ESF were rock samples that were taken back, crushed in
4 size, and then leached for Chlorine 36. June has gone back
5 into those same areas, taken samples of rock, put them in the
6 centrifuge, the ultra-centrifuge, UFA, and has spun out
7 water, taken that water out without doing the leaching, but
8 taken the water concentrate out, and then measured that for
9 Chlorine 36 to see if there was a difference, to see if there
10 was something in the process that she was doing in the
11 leaching process that may have been causing a problem, or may
12 have led to erroneous Chlorine 36 results.

13 So the difference between the porewater and the
14 rock samples is one is just a leach on the bulk rock; the
15 other one is actually water extracted from the rock,
16 porewater extracted from the rock, where all you do is do a
17 concentration on that, and then measure the Chlorine 36 just
18 to look at commonalities between the two to make sure there's
19 not a problem with the methodology that she was used to date,
20 because there had been some questions of whether the
21 methodology that was being used could lead to erroneous
22 results, or spurious results.

23 NELSON: So one of these is not going to be more likely
24 to show matrix content as opposed to fracture flow path,
25 fracture wall content?

1 DIXON: In general, if you think about what you're
2 spinning out of the porewater, is the matrix water at that
3 point. So you're looking at a matrix water from the
4 porewater extractions. Where you take the bulk samples,
5 you're looking at more of a surface coating, plus the matrix.
6 You get a combination of the two, Priscilla.

7 And so, in general, it's harder to pull out I would
8 say a true fracture component from the porewater unless you
9 have a sample that's along a fracture surface, and some of
10 that salt gets leached from the water as it comes out.

11 NELSON: So you would expect, if anything, that the rock
12 samples would show more peaks on Chlorine 36 than would the
13 porewater?

14 DIXON: Yes, I would, and considering the amount of
15 matrix permeability you have in the Topopah and the amount of
16 fracture matrix interaction you have, that would be strongly
17 indicated to me.

18 RUNNELLS: Question from Alberto Sagüés?

19 SAGÜÉS: Yes, I'm sure that I'm not the first one that
20 asks this kind of question, but one of the conclusions that
21 you indicated is that the bomb pulse observations are
22 correlated with faults in the northern ESF, and I presume
23 that that goes through the data in Figure 8.

24 DIXON: Yes.

25 SAGÜÉS: But, you know, if one looks at that figure

1 without really being very much involved with this issue, I
2 would say, gee, you know, there seems to be quite a bit of
3 data over the estimated range of signal for the Sundance
4 Fault, and there seems to be about five data points for the
5 Drill Hole Wash Fault indication, and then most of the other
6 areas I see probably as many instances of high signals away
7 from faults than closer to faults. So really, it seems to
8 boil down almost like just two cases for which there seems to
9 be what appears to be, you know, to the casual observer, a
10 somewhat convincing--

11 DIXON: I'll start there with not all faults are
12 pathways. Some faults are barriers. So the presence of a
13 fault in and of itself does not necessitate a fast pathway.
14 And, in fact, you see that. As you start down here, you have
15 the Bow Ridge Fault. That shows you have an indication of a
16 large fault, and you see Chlorine 36 in it. You have Drill
17 Hole, Diabolus, Sundance, and within the Ghost Dance, as you
18 notice, the background dropping down here, you do start to
19 see values elevating out in this region. And if you look at
20 the analysis, these points in here actually do, when you do a
21 statistical analysis, pop out as being anomalous from the
22 background, because you do have a shifting background in the
23 Chlorine 36 rates as you go through the ESF, and that really
24 has to do with the infiltration and the residence time of
25 surface water heading into the system.

1 Now, there are places where you have elevated
2 signals outside of that. Understand that once you get
3 through the PTn, there's such a fracture matrix network
4 within the Topopah, you would expect it to likely come down
5 with faults throughout the PTn, but that does not necessitate
6 that it would have to be in that region. You can have a
7 spreading. I mean, you could have a fracture network, a low
8 angle fault in the Topopah that's in unit fault that could
9 drive things. Something could come down the Sundance and be
10 driven over here, or Ghost Dance and be driven that way, or
11 other faults.

12 So the fracture network within the Topopah could
13 drive fluids a lot of different directions, Alberto. But I
14 agree by and large there appears to be a structural control
15 on a lot of this. In some places, you don't have the direct
16 linkage of the structural control, and that just has to do
17 with our lack of knowledge of how actually water flows
18 through the Topopah. And I think when you saw the niche
19 studies, you saw that there was the close matrix flow in the
20 thing, and then you saw that there was a high angle fault
21 that moved the water in different direction when they looked
22 at the seepage studies into the niches.

23 I assume by and large that on larger structures and
24 larger things, you're going to see that sort of behavior,
25 where you have a nesting of faults, the water will come kind

1 of straight down through, but if you have high angle faults,
2 you can move water a long ways laterally or semi-laterally
3 through the Topopah, because it has such a low matrix
4 permeability.

5 SAGÜÉS: But still am I wrong in interpreting this as
6 saying that that correlation is, say, looking at the data,
7 statistically would be supported clearly and undisputable for
8 about two, or at the most, three locations?

9 DIXON: I mean, I see it clearly at four locations, and
10 I see it also--I mean, again, you're looking at faults that
11 were identified at the ESF or if you have faulting at the
12 surface which projected down, and a lot of areas, we see the
13 faults projecting down. I mean, I really see two areas, one
14 area being here and one area being here, two areas that are
15 anomalous rather than exceptions, you know, rather than being
16 the exception, where I see being anomalous. But then this is
17 in the eye of the beholder. Claudia?

18 NEWBURY: Claudia Newbury, DOE. I just wanted to point
19 out that those are feature based rock samples. In other
20 words, there was something there that caused someone to take
21 the sample. It's not part of the systematic sampling. So
22 there was a fracture at that point, or there was some other
23 reason for June to be taking that particular sample. So it
24 wasn't just faults, but there are other features, other
25 fractures that are where those samples are.

1 DIXON: I mean, I think the example would be in the
2 cross drift, where they went down to the 4 centimeter scale
3 mapping. You saw the distribution difference between things
4 that were a meter, versus things that go down to 4
5 centimeters.

6 SAGÜÉS: Thank you.

7 DIXON: I hope that answers it, Alberto.

8 RUNNELLS: Time for one more question. Anybody on the
9 Board?

10 (No response.)

11 RUNNELLS: Anyone on the staff? Yes, Leon?

12 REITER: Leon Reiter. Paul, it's a little lost on me.
13 It may be a question; why is it that the four component
14 mixture model gives you such comfort? Just sort of looking
15 at it, it looks like you have sort of something with four
16 knobs that you turn and you can get a fit. I mean, maybe I
17 don't understand something.

18 DIXON: What I'm saying there is is that that model has
19 an object you can turn, but they have tried to make that
20 model based on realistic distributions of what we know the
21 different input values are for the Pleistocene, Holocene,
22 what the bomb pulse would be. You can actually break into
23 those components. Yes, you can tweak the knobs to make it
24 fit pretty well, but in my viewpoint, when you look at the
25 data and how it's distributed, the only way you can get a

1 true fit to that data is if you take the bounding
2 distributions for each one of those.

3 And that's where this calculation first started;
4 what is the bounding range within each one of those four
5 components, and how well does that fit. And this calculation
6 was done with bounding values for what the ranges in the
7 Pleistocene, what the ranges in the Holocene.

8 Now, if you took and you wanted to make it a
9 perfect fit, you could add more Holocene and you could bring
10 that peak up so you could make it fit even better. But the
11 bottom line is is there appears to be a fairly good agreement
12 when you do that sort of analysis statistically on this, and
13 I'm not a statistician, there may be people out here who are
14 much better statisticians than myself, but it does give you a
15 feeling for, as you go down the tunnel, what you're seeing
16 and why you're seeing it. The exact fit to that, as you
17 point out, is semi-arbitrary.

18 RUNNELLS: Okay, that will have to conclude our question
19 and answer session.

20 Any announcements either from Debra or Jerry before
21 lunch?

22 (No response.)

23 RUNNELLS: Okay, folks, we are going to start at
24 1:10.00, not 1:11, so be back here at 1:10 and not a second
25 later.

1 (Whereupon, the lunch recess was taken.)

2

3

AFTERNOON SESSION

4 PARIZEK: We want to start on schedule, because we have
5 both these presentations, there's room for a public comment
6 period, and then we also have an adjournment deadline to
7 meet.

8 The first talk represents the State of Nevada, it
9 will be on regional hydrology studies in the State of Nevada
10 by Linda Lehman, and it's both the saturated zone review and
11 unsaturated zone review that she wants to present. We'll
12 need all of the time available for that presentation.

13 That will be followed by the unsaturated zone
14 transport tests at the Busted Butte facility, which is also
15 imported to the performance of the Yucca Mountain project.

16 So, Linda, we'll start right up here. So everyone
17 who's not sitting down, please join us. We are starting on
18 schedule.

19 LEHMAN: Thank you, Dr. Parizek. Can everyone hear me?

20 Thank you for the opportunity to present the State
21 of Nevada funded research to the Board and to the audience.

22 Today, I'm going to try to cover a lot of ground,
23 first starting with the conceptual model for the saturated
24 zone flow and transport. And in this model, I'm going to
25 summarize briefly now some of the important elements.

1 Basically, what we are proposing is a structurally controlled
2 flow field as opposed to matrix flow. In this talk, I'm not
3 going to try to develop or define the structures at Yucca
4 Mountain in terms of the structural geology, but rather to
5 take what we know about the structures and tectonics and
6 apply it to how does it influence the flow.

7 Some of the features that are of interest and
8 significant to our flow model are the north-south trending
9 faults, Ghost Dance, Solitario, and the Bow Ridge; the
10 northwest trending shear zones, the Drill Hole Wash, the
11 Sundance and the Abandoned Wash Fault; and the northeast-
12 southwest trending faults, which exist at the southern part
13 of Yucca Mountain.

14 These faults, we believe, are open conduits in some
15 cases, and the ability to transmit water seems to agree with
16 some work recently done by the Center for Regulatory
17 Analysis, and they agree that the northwest trending faults
18 could carry water based on a slip tendency analysis, and that
19 the northeast-southwest faults carry a lot of water and are
20 transmissive based on dilational tendency analysis.

21 Also, I want to say that we used temperature as an
22 indicator of flow paths and recharge. And at the end, I will
23 present some of our latest 3-D non-isothermal modeling
24 results.

25 In terms of the unsaturated zone and infiltration,

1 basically our model consists of several elements. One is
2 focused flow, where flow is not infiltrated directly over a
3 large area, but rather channelled into certain areas where it
4 can infiltrate. We believe that lateral flow does exist in
5 several of the units, most notably the PTn. Also, the
6 concept of non-equilibrium flow, which means that flow can
7 move in the fractures without the matrix around it being at
8 100 per cent saturation, and the concept of hysteresis, which
9 was brought up several times earlier, basically the
10 difference between the wetting curves and the drying curves
11 of the rock mass.

12 Also, I'm going to briefly mention the role of
13 structure in the unsaturated zone as well as the saturated
14 zone, and if we have time in the end, I'm going to talk about
15 how representative the current total system performance
16 assessments and the NRC's TPA are to this structurally
17 controlled flow.

18 The database that we have in the saturated zone
19 basically consists of temperature, hydraulic head data, some
20 information on the structural geology, and some hydrogeologic
21 parameters which were measured from well tests, and also some
22 hydrochemistry data.

23 We believe that any model proposed, or any flow
24 paths, have to be consistent with all of the data and should
25 not use selective datasets.

1 This is the temperature database that we are using,
2 and it's derived from SASS 1988 from the USGS, and the
3 important things to notice here, and I don't know if you can
4 see this red marker very well, but we basically have three
5 cold fingers, one of which is a 30 degree--this is the 30
6 degree contour line, and we have a cold plume of water
7 essentially coming down the Fortymile Wash area, one that's
8 coincident exactly with the trace of the Ghost Dance Fault in
9 the Yucca Mountain area, and you can see right here maybe
10 this little dotted line is the repository footprint, and then
11 another cold plume coming down in Crater Flat.

12 Over here on the west, we have a hot area, which is
13 up to about 38.8 degrees C. at WT-10. We interpret this to
14 be upwelling hot water along the structure of the Solitario
15 Canyon Fault.

16 Another thing I'd like to point out is the shape of
17 this cold finger here along the mountain, and you can see it
18 takes sort of a zig zag shape. This could indicate that
19 recharge is occurring either from infiltration from the top,
20 or from across either the steep hydraulic gradient which
21 exists to the north. Other things could cause a cold
22 temperature plume, elevation effects on heat flow, for
23 example, and evaporation in the unsaturated zone.

24 Right now, we're looking at two concepts, one is
25 the infiltration only through the mountain, and infiltration

1 combined with recharge coming from above on the steep
2 gradient, because the water up here is colder, about 29
3 degrees C.

4 KNOPMAN: Excuse me, Linda. What depth are you talking
5 about here?

6 LEHMAN: This is at the surface of the water table.
7 This shape, this zig zag shape, I'm going to come back when
8 we talk about structures in a moment.

9 I guess before I--I should go to this one.
10 Basically, the flow path that you would assume from this type
11 of a setup are like the arrows. It would be moving down
12 gradient according to these arrows that are shown here. And
13 that is a different picture than what you get from looking at
14 the potentiometric surface.

15 Now, this is the potentiometric surface from the
16 USGS. It's the revised water table map, the elevations of
17 the water table, and the GS in '93, '94 time period re-
18 levelled all of the wells. They resurveyed them and they
19 corrected the head measurements based on temperature and
20 density. Then they replotted the potentiometric surface.

21 They have smoothed the surface, as you can see, and
22 as a hydrologist looking at this, I would assume that the
23 flow would go exactly at right angles to this, or to the
24 southeast. However, the numbers shown in red are the
25 corrected levels that the GS also came up with, but did not

1 use in this contouring.

2 They didn't use them because they felt these
3 numbers were too low, and they could not explain the physical
4 significance of those numbers. However, we took and
5 replotted the data and used all of the data, and came up with
6 a different picture of how water would move through the
7 saturated zone. These hydraulic lows, or embayments as I
8 like to call them, in the 730 meter contour line seem to
9 coincide exactly with the positions of the Drill Hole Wash
10 Fault, the Sundance Fault and the Abandoned Wash Fault.

11 This gives you a more complex picture of how flow
12 can move through Yucca Mountain. Moving at right angles to
13 this, we would have these faults basically acting as drains.
14 Some of them that are very deep and almost touch the
15 Solitario Canyon could be ways in which we have interbasin
16 flow occurring, and this is quite a common occurrence in this
17 part of the world, as we have suspected interbasin flow for
18 quite some time, but really have not worked out the
19 mechanisms, and this may be one way in which flow is moving
20 across some of these steep hydraulic gradients.

21 So with this concept, we have flow, as the
22 temperature shows, moving down the Ghost Dance Fault, and
23 then draining into the northwest trending shears.

24 When I saw the zig zag shape of the temperature
25 plume, it was reminiscent of transform faulting structures to

1 me, because you do have that same zig zag shape. One thing
2 I'd like to point out here is that these shapes are not scale
3 dependent. They can be seen at many scales, and we can see
4 them at the mountain in different scales. These shapes here
5 range from thousands of kilometers, down to 1 centimeter. So
6 this is a tendency of fractal geometry or fractal mathematics
7 that could control this flow system, and the USGS actually
8 did a fractal analysis of the fractures in Yucca Mountain,
9 and it did have a fractal dimension. I believe it was
10 something like 2.3.

11 On the larger scale, here's Yucca Mountain, Death
12 Valley region, and this dotted line is the northern extent of
13 the Walker Lane Belt, a large tectonic structure that runs
14 all the way from Las Vegas, way to the north of Yucca
15 Mountain. And what I want to point out here is, again, the
16 zig zag shape. As we can see up here from the north, we have
17 sort of a zig zag shape coming down. So this shape in the
18 structures, we see it quite regularly when we look for it at
19 the mountain.

20 Now, to the south of the mountain, we have some
21 aeromagnetic data that were provided by the Center for
22 Regulatory Analysis, by John Stimaticose (phonetic). You see
23 here the position of this Route 95 Fault which runs through
24 Lathrop Wells, and where all of Nick Stellavato's wells are
25 near, also the Carrara Fault. And you again see this zig zag

1 shape in the Carrara and in the Route 95 and in the trough
2 itself which extends south down to Ash Meadows.

3 Again, a slide from the center showing more of
4 their interpretation of what this trough looks like, and as
5 Tom Bugo pointed out to you, this trough is filled with a lot
6 of valley fill sediments, gravel, sands, and in some cases
7 very fine sediments. But this, again, would represent sort
8 of a different part or different piece of the flow field, and
9 early on, we had noted there were differences in the water
10 table response to--when we measured the water table response
11 over time, different on the east and different on the west.
12 So we recognized early on that this system was
13 compartmentalized, and it's probably only loosely connected
14 hydrologically, and this may be also another different part
15 or different compartment in the flow field. But, again, you
16 can see the zig zag shape.

17 Zel Peterman just gave me this slide. This is,
18 again, Yucca Mountain right here, and what I want to point
19 out in this in terms of structure is this area right here.
20 South of this line, we have an apparent rotation of the East
21 Crest, Middle Crest and West Crest of Yucca Mountain, and
22 it's apparently rotated at about 30 degrees, and you can't
23 see it in this slide, but the Fortymile Wash also takes a jog
24 along that same trend.

25 The USGS and Oneal, et al., they interpret those

1 structures as rigid bodies that have been rotated in a
2 clockwise fashion, and separated by left lateral slip faults.
3 These faults are also at the same angle as the northeast-
4 southwest open fractures that the Center has defined. We
5 believe that those fractures could be fast flow paths.

6 Now, a more recent interpretation of the structure
7 at Yucca Mountain comes from the Center for Regulatory
8 Analysis, and their interpretation here is that it's a series
9 of en echelon normal faults. And as these faults propagate
10 with increasing displacement, then they become connected by
11 these ramp, relay ramps they call them. And as you can see,
12 this zig zag structure still is apparent, even in this
13 interpretation.

14 Also, we have these things called pull apart
15 grabbens or basins where the extension is essentially taken
16 up in these regions. This is also from the Center, and this
17 is in the southern part of Crater Flat, and they have
18 identified such a basin here. There are several of them
19 along the Windy Wash Fault as well.

20 What was interesting is that this is coincident
21 with the Black Butte lava flow, and it could be that these
22 grabbens actually provide a conduit from the deep carbonates
23 or deeper mantel for magma, but they also may provide some
24 channels for hot water as well.

25 The main structures that we're dealing with in our

1 flow model, here's the repository footprint, as I said
2 before, the Solitario Canyon Fault, the Ghost Dance and the
3 Bow Ridge. In my model, we use the Fortymile Wash as a
4 boundary condition, as a no-flow boundary. But here, the big
5 question is if we believe our temperature, cold water
6 temperature plume, then what happens at the end of the Ghost
7 Dance Fault?

8 Now, this is shown to go all the way through here,
9 but really it's a big question mark. We don't really know
10 what happens, whether the Ghost Dance is through going.

11 The USGS has come up with some interpretations of
12 that, and they've come up with several alternatives, but
13 basically it's the Abandoned Wash Fault, it could connect to
14 that. It could go down the west side of East Crest or the
15 west side of Middle Crest. And I've drawn that out
16 graphically here so that you can see. The flow could go down
17 any one or all of these pathways if it stays channelized in
18 the fault structures.

19 Now, I want to compare that to some of the TSPA
20 results, and this is not the most recent one. The most
21 recent ones use six flow tubes, but they still follow this
22 same pathway. And as you can see, they still are using an
23 eastern flow path from the repository to Fortymile Wash, and
24 down into the Amargosa Valley. This type of a flow field
25 would have slower velocities, more dispersion, more dilution

1 than you would see in a version where you would have a more
2 confined channelized pathway. You would also have higher
3 velocities in this type of a situation than you would with a
4 plume moving through alluvium.

5 About a year ago, Zel Peterman presented some
6 information on chloride data. I don't know how well you can
7 see this from back there, but this is a chloride plume coming
8 from Yucca Mountain, and it basically is moving north-south.
9 I feel this is more supportive of the north-south flow path
10 than the easterly moving flow path.

11 He has also recently produced some more data. He
12 has some more sampling points down in the Amargosa area. But
13 basically, we still see the same trend in the blue and green
14 dots coming more this way. They're not on here, the Nye
15 County well data are not on here, but Zel says that it
16 confirms that this is basically a north-south trending flow
17 path. And we can see this same sort of thing if you'll look
18 at the green dots from Yucca Mountain moving southward.

19 Now, we decided to construct a model, and this is
20 our three dimensional model setup. Basically, you can think
21 of it as three layers. The first layer is the volcanic
22 aquifer. The middle layer is the volcanic aquiclude, and the
23 third layer being the carbonates. Carbonates are not
24 simulated by a specific layer, but are simulated through
25 boundary conditions. And the boundary conditions that we

1 used are those that are at P-1, since that was the only data
2 point that we had in the carbonates. So the pressure head
3 throughout the whole model is set at 750 meters above sea
4 level.

5 The temperature in the carbonates, we have done a
6 little messing with that, it ranges from 53 degrees on the
7 east, over to about 57 degrees on the west, and we did add
8 one point for Nick Stellavato's hotter wells. But I want to
9 say that the end of this model is just at the southern
10 repository tip, and it does not go down into Nick's area.

11 In this model, we started with the tuff porosities
12 and permeabilities that were in the literature of 10^{11} meters
13 squared, and then we added fault zones. We have the Bow
14 Ridge, the Ghost Dance and the Solitario. This is the Drill
15 Hole Wash, the Sundance and the Abandoned Wash Fault. The
16 darker area here, these are less permeable, being barriers,
17 and the fault zones are more permeable. And up here, we have
18 a boundary condition of 1000 meters and 29 degrees C.

19 To get at the permeabilities of these fault zones,
20 they were arbitrarily adjusted from the 10^{11} meter squared in
21 order to match the potentiometric surface. So it's totally
22 arbitrary.

23 Also, I want to say that we did add infiltration
24 where you see these blue lines along the Drill Hole Wash and
25 Ghost Dance and the northern part of the Bow Ridge, and we

1 put infiltration at the rate of 10 millimeters per year and
2 assumed that it was 15 degrees C.

3 We were able to get a very good match we think in
4 terms of the pressure surface. We were able to get the
5 embayments in the 730 contour line, or close to it, and the
6 steep gradient on the west and on the north.

7 And we feel like we did a pretty good job on
8 matching the temperature plume. This is the Ghost Dance. So
9 we have gotten the cold finger down the Ghost Dance, we've
10 got the cold fingering down Fortymile Wash area. The reason
11 we don't have these is I realized after we did this last run
12 that I had set the temperature boundary condition here to 36
13 degrees, so we don't see the cold plume coming down here.

14 From previous runs, we found that we could not
15 match this pressure head over here unless we did add some
16 boundary conditions, because the highest heads that we have
17 in the model are 750, and as you heard Tom Buqo say, there
18 are heads of 775 meters, approximately, over there. And we
19 added a boundary condition to counteract that, but I think
20 that Tom is exactly right, that there could be some barrier
21 to flow in the southern part of that area which is just
22 damming it up and not allowing the flow to come out on that
23 side, and in future runs, we will try to simulate that.

24 Now, as good as those matches were, we looked at
25 the velocity fields and we were quick shocked with the

1 numbers. We calculated groundwater travel times on anywhere
2 from a range of 18 days to the 20 kilometer boundary, to 96
3 years. And the way we got those is not through a transport
4 analysis, but basically we looked at the inter-block
5 transmissivities or velocities block to block, and we said,
6 okay, if this was the velocity for the whole thing, if it
7 went at this velocity for 20 kilometers, this is the travel
8 time we would get. It's not an analysis going through
9 different fracture zones.

10 So in order to try to lower this, we decided we
11 needed to see what we could do to lower these velocities. So
12 what we did was we just across the board multiplied all of
13 these permeabilities by 10^{-5} . No other changes. Infiltration
14 and everything is the same. And we did a pretty good job of
15 matching the pressure surface. Once again, you can see the
16 embayments. And we were able to lower the velocities quite
17 significantly. Now our travel times range from a low of
18 about 5,000 years to about 8 million years.

19 However, we didn't do such a good job on our
20 temperature. As you can see here, our temperatures are way
21 too hot. They're about 13 degrees C. too hot in the Ghost
22 Dance, and very, very hot over here in the Fortymile Wash
23 area, and just along the Solitario canyon. So this told us
24 that perhaps that the permeability fields are really
25 controlling a lot of this temperature distribution, because

1 we can't push enough water through here fast enough to cool
2 it down.

3 Now, of course, the \$64,000 question is what is the
4 lower temperature boundary condition. We really don't know
5 if that temperature field that we have in the bottom layer is
6 correct. We have only one data point. We don't know if the
7 pressure field is correct. We have only one data point. So
8 these are the kind of things that we have to know in order to
9 see whether or not a model like this is representative.

10 PARIZEK: Linda, we're going to be tight on time here,
11 so if we could maybe hit the high point here and then--

12 LEHMAN: That's it for saturated. I'm going to move
13 right now to unsaturated.

14 With regard to the unsaturated zone, this is a
15 model we proposed in 1991, which was the idea of having
16 focused flow on the west side of Yucca Mountain, especially
17 in areas where the PTn unit was absent. And I'm really glad
18 that the speaker before me came up and said a lot of this
19 same thing.

20 One thing that we had noted was that there could be
21 lateral flow in the PTn, but that you really needed to look
22 in areas where the PTn was not present to look for higher
23 flow paths.

24 The idea here is that rainfall can hit the western
25 side of this mountain, and then actually run off under the

1 alluvium, and then go into the open channels directly in the
2 Topopah Springs.

3 The concept that's being used in the TSPA is that
4 elevation and the depth of alluvium controls the
5 infiltration, and we generally agree with that. The only
6 thing is I don't agree with it on the western side where the
7 slopes are very steep. And as the data shows, we are getting
8 some infiltration, or at least some Chlorine 36 hits there.

9 The other thing that was mentioned is the role of
10 hysteresis. We believe this should be accounted for and fast
11 pathways for fracture flow.

12 In terms of structure, since we talked about the
13 extensional nature here and most of these large open faults
14 are running north-south, there's reason to believe that there
15 are smaller scale fractures also oriented in this direction.
16 And a lot of the estimates for the TSPAs were done based on
17 the tunnel, and the tunnel, as you know, runs parallel to a
18 lot of these structures, and now in the cross drift, we're
19 actually going at right angles to a lot of these faults. So
20 like a well, you're intersecting more fractures, you should
21 get more infiltration or more hits in terms of water
22 movement. So we believe that the structure there is also
23 important.

24 And that's it for the modeling. If I have a
25 minute--I don't know how much time I have left.

1 PARIZEK: Just take two minutes so we allow time for
2 questions, and you can perhaps elaborate on some of the other
3 work.

4 LEHMAN: All right. Basically, the handouts that say
5 analysis of representativeness, I'm not going to go through
6 that because you have it there and you can read it. But
7 basically we feel that the flow paths are incorrect, that
8 it's not necessarily consistent with the chemistry that's
9 coming from the program, and they have not used any
10 temperature in their analysis of flow in the saturated zone.

11 I've asked several times why don't you use
12 temperature as a flow path indicator, and they've told me
13 that basically, we want to develop a good flow model first,
14 and then we'll add temperature. But I maintain that you
15 don't know if you have a good flow model until you use
16 temperature, or some other parameter to calibrate against
17 besides the hydraulic head.

18 The whole issue of hydraulic apertures and
19 effective porosities needs to be examined. But more
20 importantly, also the idea of dilution, especially the NRC's
21 model, and there's a typo on here, it should be 10 to the 6
22 gallons per day, not 10 to the 8th. Basically, they dilute
23 the repository releases by a well bore dilution of 10 million
24 gallons a day. If you do have segmented systems, especially
25 in the lower part of the system, if we have isolated blocks

1 separated by faults, then we probably don't get that huge
2 kind of production rate that would be needed to create those
3 dilutions. So that needs to be looked at.

4 In terms of the unsaturated zone, I think Bo has
5 done a good job of putting temperature and a lot of structure
6 into the model. What we would like to see now is maybe on
7 some of the transient mode analysis, to incorporate
8 hysteresis and also a distribution of infiltration that does
9 incorporate slightly wetter conditions on the west.

10 PARIZEK: Can we take questions now, Linda?

11 LEHMAN: Yes, that's good.

12 PARIZEK: Okay. Board, questions anyone? Debra
13 Knopman?

14 KNOPMAN: Knopman, Board. I'm wondering if we could ask
15 Zel to come up and perhaps respond or elaborate a little bit
16 more on the chemical data and its consistency with your
17 hypotheses about the flow paths?

18 PETERMAN: Zel Peterman, USGS. I guess the one with the
19 chloride would be the useful one, Linda. This is from our
20 integrated hydrochemical isotope database that we continue to
21 work on and unfortunately does not include the new data from
22 the Nye County wells yet, although those are in the database.
23 We just haven't had time to redo these maps.

24 It does include our two new sampling campaigns down
25 in the Amargosa for which we have complete dissolved ion and

1 isotopic data. So what it's done down there is tighten up
2 what appears to be a zone or plume of water consistent with
3 the low chloride water at Yucca Mountain. That's exemplified
4 by the blue and green dots.

5 Now, these contours are developed using a program
6 that grids the data, and you can see that the distribution of
7 data points isn't really optimal for gridding, but it does
8 basically do a pretty good job. It does a craging approach,
9 and there is, if you notice that the contour that encloses
10 the blue and green dots in the Amargosa, there's a northerly
11 closure to that. I think if anybody were hand drawing that,
12 you'd just continue those on up and connect them with Yucca
13 Mountain. So I'm pretty confident that we are looking at,
14 you know, a general flow zone, or whatever you wish to call
15 it.

16 I think that the sulfate on the right shows the
17 same thing. Now, what we're seeing there is an increase in
18 sulfate as we move southward, and of course what's happening
19 is we're transmitting from the water table in the volcanic
20 rocks where you would expect low sulfate, to the water table
21 in the alluvium, and the alluvium is composed of a variety of
22 rock types, including material derived from the Paleozoic
23 limestones, which probably has little bits and pieces of
24 gypsum in it at various places. We're also looking at
25 Precambrian detritus coming off the central Funeral

1 Mountains. We're looking at these early tertiary spring
2 deposits. So the valley fill there at the Amargosa is
3 lithologically pretty much of a complex assemblage of rock
4 types.

5 So at the moment, I feel confident that we are,
6 that the hydrochemistry--and this is only a sample. We have
7 stable isotopes and strontium and uranium isotopes--are all
8 pretty much supporting this north-south, and as you come
9 south, if you're facing south there, you can see the contours
10 do sort of take a little bit of a job left, and that's
11 consistent with the geology that we saw that Linda had, and
12 earlier, the maps that Tom Buco showed on the regional
13 structural fabric. So I think everything is kind of coming
14 together there.

15 KNOPMAN: Thank you.

16 RUNNELLS: Other Board members? Priscilla?

17 NELSON: Nelson, Board. In this figure, you show
18 Solitario Canyon Fault as more or less of a damming, low
19 permeability zone?

20 LEHMAN: Yes, for the saturated zone. But for the
21 unsaturated zone, I believe that while it's a dam to
22 horizontal movement, it can always be a conduit to vertical
23 infiltration, because a lot of these faults have quite large
24 damage zones associated with them.

25 So I think what happens in the unsaturated zone is

1 we have runoff going under the alluvium there at the fault
2 contact, and just kind of dropping down into the disturbed
3 zone just east of the fault there.

4 PARIZEK: Other Board questions? Staff?

5 (No response.)

6 PARIZEK: Parizek, Board. I have a question about
7 choice of drill site locations. Tom Buqo said where he would
8 go with the next cluster of drill holes. If you had that
9 money that you were offered this morning, where would you put
10 drill holes to test your hypothesis of flow and this fast
11 path question that you raised as part of a conceptual
12 difference?

13 LEHMAN: I would first of all try to get a deep hole
14 somewhere close to the mountain so that we could see what the
15 temperature and pressure boundary conditions would be from
16 underneath, because I think that, at least in our concept of
17 the model, controls.

18 The other thing I'd like to do is move up in this
19 area where the bottom of the--where the end of the Ghost
20 Dance Fault is and perhaps do some tracers up in here to see
21 if it in fact does follow this central ridge, central crest
22 east of Lathrop Wells cone right in through here. Or if like
23 the others think, maybe, you know, it is going more over to
24 Fortymile Wash, to try to sort that piece out.

25 PARIZEK: The consequence is quite important in whether

1 it's fracture flow or whether it gets into alluvium a little
2 earlier. You point that out as your TSPA type comments;
3 right?

4 LEHMAN: Right. Yes, I think it's going to make a big
5 difference. And also in the designs that are being
6 considered, the alternative conceptual designs for the
7 repository, right now are only analyzing the eastward flow
8 path, and I'd like to see someone analyze a more north-south
9 flow path and maybe fracture flow controlled scenario. It
10 might make a big difference in what design options you
11 choose.

12 PARIZEK: Parizek again. The question about USGS
13 dropping out some control points which are red dots on your
14 map, I didn't get all those written down. Is anybody in the
15 Survey here prepared to comment as to why those holes were
16 dropped out of the database for contouring the water table
17 configuration? You more or less briefly told us they were
18 dropped out. But do you know why?

19 LEHMAN: They said in the report why, and they said that
20 they did not understand why they would have hydraulic lows at
21 those locations, so they just took them out.

22 PARIZEK: Priscilla?

23 NELSON: Nelson, Board. On this figure here where you
24 first showed the north flow, at about what point do you think
25 that this flow exits the rock?

1 LEHMAN: That's the \$64,000 question, as I said before.

2 NELSON: Any guesses?

3 LEHMAN: But I don't know how well you can see from this
4 one that's up here, it could follow this line here and come
5 out by Busted Butte. It could come out over here. All this
6 is the volcanics, and where actually the line is where you
7 get the alluvium or valley fill, I've been assuming that it's
8 been along this Route 95 fault. It may not be. It may be in
9 other places up here. So I don't know.

10 NELSON: Nelson, Board. That's why I sort of was
11 thinking that that would be a good place to at least get some
12 more definition of where the top of rock is and the thickness
13 of the alluvium varies.

14 LEHMAN: I agree definitely.

15 PARIZEK: Debra Knopman?

16 KNOPMAN: Knopman, Board. One very quick question.
17 Based on what you know now and the data available in your
18 modeling, what in your mind is a conservative range on
19 groundwater travel time from the repository to the 20
20 kilometers down.

21 LEHMAN: Well, it depends if it's fracture flow. If
22 it's all fracture flow, I think we're looking at probably in
23 hundreds of years range. Certainly, we could have faster
24 paths faster than that if we had the gradient, if we had the
25 head gradient. I don't know that we really truly have the

1 head gradient. But I'd say probably hundreds of years rather
2 than thousands of years.

3 PARIZEK: I think we have to cut it down for the next
4 and last presentation. Thank you. There's a lot of
5 conceptual ideas and you'll be in the drilling program. I'm
6 sure that it's being inquired as part of it.

7 The next speaker is Paul Dixon who will talk about
8 the unsaturated zone transport tests at the Busted Butte
9 facility, and always an update there is very informative.

10 DIXON: Good afternoon. I hope everybody is semi-awake
11 after lunch after having sat through one talk. So I'll try
12 to keep you entertained here.

13 Again, I'd like to start this talk with this talk
14 is being presented for Gilles Bussod, who is the Los Alamos
15 Laboratory lead, who's been in charge of this test and he
16 regrets that he's not here today to give this. So I'm
17 presenting for him, so if I get outside of my bounds here in
18 some area, please be kind.

19 This is just to kind of give you an idea that
20 standing on the crest looking from the northwest towards
21 Busted Butte, Busted Butte really is proximally close to
22 Yucca Mountain. And in studying Busted Butte, one of the
23 reasons why we looked at the Calico Hills and Busted Butte is
24 it is very proximal to Yucca Mountain, and it appears both
25 chemically and stratigraphically and mineralogically just to

1 be a distal portion of the Calico Hills where it starts to
2 thin. And where you have maybe 70 meters of Calico exposed
3 to Busted Butte, you have somewhere like 70 to over 100
4 meters exposed to different places underneath the repository.
5 So this is just to kind of give you a warm and fuzzy that
6 we're not looking and trying to make correlations to a unit
7 very, very distal from Yucca Mountain.

8 Most of you have probably seen this, but we'll
9 review back through it. The test objectives at Busted Butte
10 are to try to evaluate what the influence of heterogeneities
11 are on flow and transport in the unsaturated zone; to
12 evaluate other aspects of the site, including fracture/matrix
13 interactions and permeability contrasts. And I'll show you
14 some of this information as we go through with the examples
15 from some of the mine backs we've had there.

16 Look at colloid migration in the unsaturated zone,
17 what sort of effect did we have on infiltration. Use
18 laboratory sorption data at the field scale. And one of the
19 things that I'll point out about this test is this test not
20 only has the field aspect of it, which I'll present here
21 today, but there's a whole second set of information, which
22 is using the analog tracers and real radionuclides in the lab
23 so that we have a direct correlation of real radionuclides,
24 of how they would interact in this system. And that work is
25 ongoing right now, and there was no preliminary data that I

1 was allowed to present today.

2 And then what we're trying to do right now is give
3 enough information that we have some calibration and
4 validation things for Bo Bodvarsson and the UZ flow and
5 transport team to use in that to build our confidence in the
6 use of that model and some of the things we're doing.

7 And the other thing is is that this test is really
8 the intermediate scale test that we have right now between
9 what we have at the lab bench and what we've been trying to
10 model at the site scale. It's kind of something in between
11 that gives us a real solid data point that's at a fairly
12 large size.

13 The test plan for Busted Butte that was developed
14 three years ago, the test was designed to go in three phases.
15 I'll state right up front now the test will probably end
16 after Phase 2, based on where we're going into site
17 recommendation, and we may either continue in the future
18 after site recommendation and license application to a Phase
19 3 at the Busted Butte complex, or we may in fact move to a
20 different site to study more parts of the Calico Hills and
21 how it interacts.

22 This is just for your background, just for
23 everybody's knowledge of what tracers did we use in the Phase
24 1 and Phase 2 tests as I talk about them, and as I go through
25 this.

1 In the test, a series of samples were sent up to
2 the USGS. What's been interesting about Busted Butte is for
3 the first time, we actually have been able to make physical
4 measurements on the type of rocks that have this high
5 porosity permeability of the Calico Hill. Almost all the
6 drill hole information we have from the Calico tends to be
7 from the more zeolitic units that we made more intact. When
8 we became more vitric in the southern part of the repository,
9 middle to southern part of the repository, this information
10 was just not available, so we took a distribution of what we
11 thought it would be.

12 So for the first time, we're able to actually go in
13 and physically measure and validate some of the values that
14 we've been using in our modeling and cut off the distribution
15 tails and really get to a mean value that's real.

16 You can see here the porosities are extremely high.
17 I mean, this is really like a very loosely held together
18 sandstone. I mean, it's very, very high porosities.

19 This is some data from Larry Flint of the U. S.
20 Geological Survey, just looking at moisture retention curves
21 and conductivity data, fitted with the van Genuchten model,
22 and this is just to show you that by and large, that model,
23 the data very much follow that representation of that model.
24 So we're not seeing any strange behavior in these rocks. In
25 fact, it's a pretty amazing dataset.

1 To date on June 30th, we interchanged pads in the
2 collection boreholes, and to date right now, we've collected
3 over 7000 pads from Phase 1-B and the Phase 2 test. And of
4 those 7000 pads, over 1000 have been extracted for
5 everything, except for the metals and microspheres. And we
6 have over 10,000 separate analyses right now on the
7 fluorinated benzoic acids, bromide and the fluorescein,
8 rhodamine dyes that we've used in this test.

9 The Busted Butte test layout where we're getting
10 the pads from, just to kind of come back and review it with
11 you guys a little bit, is this is the Phase 2 test, which is
12 a large block test. It's roughly 10 by 15 meters. We have a
13 series of injection boreholes here in white, and those
14 injection boreholes are at two levels, and they have--we have
15 anywhere between 1 and 50 milliliters per hour injection up
16 here, and down here we have roughly 10 milliliters per hour
17 injection rates in the thing.

18 This unit here is the TPV-1 and the actual test--
19 the actual injection boreholes will set up right at the base
20 of the TPV-2, which is the bottom part of the Topopah. The
21 actual true Calico is in the unit down here where we have the
22 second set of collection boreholes. There tends to be more
23 fracturing and things in the TPV units because of the clumber
24 joining coming down out of the basal vitrosphere. You get
25 some of that clumber joining extending down into the TPV 2.

1 In fact, the Phase 1-B test, which I'll show you
2 results from here next, which is set up here, which is
3 Boreholes 5 through 8, that is set up in the fractured TPV-2
4 clumber jointed fractured TPV-2 to specifically try to
5 address fracture flow in kind of a vitric, slightly altered
6 rock.

7 This here shows the Phase 1-B test I just pointed
8 out. Phase 1-B, we had two high injection boreholes and two
9 low. The distance between the injection and the collection
10 borehole was 30 centimeters. In the collection borehole, we
11 had a series of pads for collection spaced out, and in each
12 one of the injection boreholes, there was at least one
13 fracture, and this is the six set of boreholes.

14 Pre-test predictions on this test here where we
15 have a single injection point over top of the fracture
16 suggests that you'd be hours to a minimum of a couple days
17 before you'd have breakthrough along this fracture of fluids.

18 If you look at the chart here, you'll see that the
19 injections started on 5-12, and it wasn't somewhere until
20 about 6-23, over a month later, over 30 days later we got
21 breakthrough. Everybody thought for a while that we had
22 problems with the injection. We knew we were putting tracer
23 in, but we just weren't sure what was happening. You can see
24 that once it breaks through along the fracture there, that's
25 the main flow that heads along that. You see there's a

1 substantial amount of matrix flow that heads out into this.

2 And as I start to talk about some of the Phase 1-A
3 tests, you'll actually see, I didn't have a slide, I didn't
4 get one before I came here, what it looked like. We actually
5 over cored these holes in the process of analyzing it.

6 We also injected in this hole here the
7 microspheres, and we're looking at the transport of those
8 microspheres and their filtering along fractures and out into
9 the matrix.

10 What I'm going to do now is just show some pictures
11 of the Phase 1-A mine back. I don't know how many of you
12 people got to visit when Gilles was mining back the Phase 1-
13 A, but it was pretty exciting.

14 This here is actually the 100 centimeter depth,
15 just to kind of point out that this is the second mine back
16 layer, and I'll actually show all four progressive mine back
17 layers. There's Dr. Bussod standing there.

18 Note that in these two boreholes here, the
19 injection rate was 10 milliliters per hour, and in this
20 borehole and this borehole, the injection rate was 1
21 milliliter per hour. A single point injection, and the
22 injection point was at 3 o'clock in each one of the holes.

23 This is to kind of give you an idea of what it
24 looked like as we mined back. We started at the surface.
25 You didn't really see any effect of the surface, but at 20

1 centimeter mineback, you can see the injection point here was
2 at roughly about 100 centimeters into the hole here. It's
3 about a meter in was the injection point. You can see that
4 you've had migration back this direction. What you notice is
5 the strong capillary flow.

6 So what you get is you get not only--you have the
7 fluids injected at 3 o'clock and you get the fluid diffusing
8 out all the way around this due to capillarity effects. And
9 you'll notice that there's a lithologic contact here that
10 I'll come back to later, but anyway, you get a kind of a
11 picture that this is--the capillarities are very, very strong
12 in this unit, which is a confirmation of some of the things
13 that we used in the VA model where we used very large
14 capillarities for this.

15 And the other thing to point out as we go through
16 this here is that we saw it in the Phase 1-B test, but we see
17 it in the Phase 1-A test, where you have fractures, fracture
18 flow appears to be pretty much insignificant, and that
19 lithologic contacts are much greater fluid boundaries or
20 fluid retentions than you would ever get from migration along
21 the faults.

22 Just looking at the 10 milliliter per hour
23 injection borehole here, at 50 centimeters, here's the
24 lithologic contact. You see the halo of capillarity around
25 there. When you get to 90 centimeters, there is a fracture

1 or fault heading through this zone here that's actually got
2 opal along it, so you know you've had fluid travel along that
3 fracture at points in the past.

4 And you notice that you get a ponding at the
5 contact, and within the Calico Hills, these contacts tend to
6 become slightly more silicious at the contacts due to the ash
7 falls and alterations at the surface. You see a large effect
8 of ponding here, and you see a very minor effect of fluid
9 moving down the fault, as opposed to the ponding. And,
10 again, the red dot is the injection point.

11 What was done with the Phase 1-A test is we did a
12 series of three-dimensional pre-test predictions of what we
13 thought we would see. And I'll show you in the next slide an
14 actual example of the field test versus a model prediction.
15 And two-dimensional heterogeneity simulations were used for
16 pre-test predictions, unfractured, Phase 1-A, and fracture,
17 Phase 1-B. And stochastic models were used for pre-test
18 predictions and to understand the uncertainty in what we were
19 doing.

20 For the high injection rate borehole, this is what
21 we saw in the field. You guys have seen this here. This is
22 basically what we modeled. We modeled that you would see a
23 basically diffuse halo. What you notice is that this is--we
24 put a fair amount of heterogeneity into this based on the
25 test and some things we saw. What you notice is that with

1 the exception of a lithologic contact, that's the major
2 heterogeneity that's causing retention of flow here. Other
3 than that, capillarity seems to be a pretty equant system in
4 here.

5 In the lower injection rate borehole, I found this
6 pretty interesting, is that when you're injecting here at the
7 3 o'clock, the fluid is being injected at a low rate and it
8 will slowly wrap around the borehole, and what you notice in
9 the model is you see this kind of bell shape here, and you
10 see that very similar bell shape in the field, which I
11 thought was pretty exciting, that you're actually able to
12 model that phenomena of how the fluid slowly wraps around at
13 low injection rates.

14 So at this point in time, from the Phase 1-A and 1-
15 B tests, the tentative conclusions are that we're able to
16 confirm that you have long travel times in the Calico Hills.
17 The capillarity is really showing you that you're really
18 going to be able to slow fluids heading through there. The
19 migration of water from fractures into the rock matrix
20 appears to be very strong. Where you have fluid flow down
21 fractures, it tends to get imbibed in the matrix due to
22 capillarity. And by doing so, you're increasing your
23 sorption sites and you're increasing interaction with the
24 rock and the ability to retain things.

25 The other short-term thing here right now is the

1 preliminary information about where the colloids went, at
2 least in the Phase 1-B test from visuals, because they are
3 fluorescent, is that visually, it doesn't look like they
4 moved more than about a half a centimeter away from the
5 injection point. They really just get in there and clog
6 things up. They're really being filtered extremely strongly
7 as they're being imbibed into the matrix. And those results
8 hopefully will be coming out here in the next month or so as
9 Gilles puts in some information for them to use in the UZ
10 flow and transport PMR.

11 And another thing I'd point out is that sorptive
12 retardation in the Calico Hills is going to be important,
13 especially in the vitric units. We've already talked in the
14 past about how the zeolitic units, if they have the right
15 zeolitic content, somewhere less than 15 per cent, you'd have
16 a high enough porosity permeability to allow interactions.
17 What this is showing is that even in non-zeolitic Calico
18 Hills where you have alteration with clays and calcite, you
19 get a fair amount of sorption going on.

20 And I'll just point out here that the data and
21 analysis from this test are being used for the site
22 recommendation and will ultimately be used in the license
23 application.

24 Just a slide Gilles put together just to point out
25 that in the VA model, when we looked at one of the analysis

1 where you had fracture flow from the repository horizon down
2 to the water table, this is the sort of breakthrough curves
3 you got for non-sorbing to sorbing tracers. In fact, you got
4 fairly quick travel times for non-sorbing tracers.

5 In VA, we had a range distribution of what the
6 Calico Hills might give us as far as hysteresis effects or
7 due to matrix capillarity, and what you see here is that if
8 you use the information we currently have from Busted Butte,
9 you see that you can basically gain and verify three orders
10 of magnitude hysteresis in the flow time by in fact using the
11 data that we've been able to verify at Busted Butte in the
12 field test.

13 So we've been able to take that distribution from
14 the VA model and very much restrict it in what we believe is
15 really out there in nature.

16 What I'd like to do now is Gilles has done a series
17 of pre-test predictions for the Phase 2, and I'd kind of like
18 to run through a couple of these and just, you know, just
19 show you where he's headed with some of this, and give you an
20 idea that we've put together, as we start analyzing and
21 putting back into the model the data, we actually had
22 something to go back against for the Phase 2. And, again,
23 remember the Phase 2 block is here where you have nine
24 injection holes, and I think 12 or 13 collection holes over
25 here.

1 Also remember that these little holes, or the stars
2 of them here, they're doing electrical resistivity tomography
3 in, and also every time we'd pull out liners here to collect
4 pads, we'd pull them out in pairs, and they run a series of
5 ground penetrating radar two dimensional plane analyses on
6 those holes. So we have neutron logs for the initial
7 saturation. We run a neutron log, and then we run GPR or ERT
8 on these. So we're trying to get an idea of the real time
9 saturation front movement in this block, as well as what's
10 coming out on the pads as far as tracers and dyes.

11 And this slide here, this is basically from the VA,
12 this is just to give you an idea of the validation of where
13 we're more highly zeolitized in the northeastern part of the
14 repository, you tend to get much, much shorter travel times,
15 because the flow tends to be more fracture dominated. What
16 we're learning now from the mineralogic model as we add more
17 detail, and which Bo is adding into this thing, is that this
18 may in fact actually be very, very conservative, and the
19 reason for that is that where you're zeolitized in the
20 northern part of the--northeast, you're also interlayered with
21 vitric units. And from Busted Butte, you're able to show
22 that you get more of this kind of a behavior in travel times
23 with the vitric units, and so the interlayering, you may have
24 fast flow like you have through the Tiva Canyon into the
25 Paintbrush Tuff, and then it slows down like in Chlorine 36,

1 and it picks back up when it gets back out again.

2 Well, what this is showing is that some of these
3 diagrams will definitely change as we head into the new
4 representations with the UZ flow and transport model that Bo
5 Bodvarsson is working on.

6 This is just to show that from a model prediction
7 where you have the high injection boreholes up high, and the
8 lower injection boreholes down low, this is the sort of
9 saturations we would expect at one year. So when we start--
10 the mineback for Phase 2 is supposed to start right after
11 Christmas in 00. We'll start mining this back, and that way,
12 hopefully when we start the mineback, we will be through with
13 the mineback in a couple of months, the analysis by mid-
14 summer, and wrap up the writing of the report on Phase 2,
15 with all the analysis, by the end of FY 00, is the goal right
16 now.

17 And you'll see that the tracer front here has moved
18 significantly less. So what you're looking at here, you'll
19 see fluorescein and some of the other dyes, the more mobile
20 components, on the pads. The reason why we need to mine back
21 the Phase 2 like we did the Phase 1-A test is that the
22 tracers by and large we predict are not going to move very
23 far, and the only way we're really going to know their
24 distribution and how they went in the system is to do a
25 limited mineback at Phase 2.

1 And I think I'll stop there and entertain
2 questions.

3 PARIZEK: Thank you, Paul. It was a very informative
4 update. Any questions from the Board? Debra Knopman?

5 KNOPMAN: Knopman, Board. Help us, Paul, to understand
6 how you can fairly extrapolate from the results of Calico
7 Hills to the rest of the Calico Hills throughout the
8 repository horizon in terms of properties. You made some
9 fairly bold statements about what you can say now about
10 travel times through Calico Hills, and I'm just wondering how
11 you get from here to there.

12 DIXON: Okay. What I'll start with is that the latest
13 three-dimensional mineralogic model for the mountain that's
14 been developed at Los Alamos and is being used in the ISM PMR
15 right now gives--they've been able to, from all the drill
16 holes we have to date, and using analysis techniques,
17 basically put together a three dimensional picture of what
18 the Calico Hills looks like in both horizontal and vertical
19 depth. Based on that, and knowing the connections from the
20 mineralogy and petrology of the Calico underneath the
21 repository, looking at the mineralogy and petrology of Busted
22 Butte, even though it's a thin section, you know that you're
23 looking at the same--basically, you're looking at kind of a
24 pie shell thinning out to the edge.

25 So you're looking at the same unit, and what we're

1 saying is that from the drill hole information we have,
2 again, it's very limited, we tend to in these vitric units
3 get dust at the Calico Hills and Busted Butte, we know why we
4 get dust, because it's even hard to hand auger it and get
5 intact samples for analysis, that mineralogy matches. And
6 where we have missing chunks of the Calico Hills underneath
7 the repository, we infer that that is there, based on
8 basically dust samples that have come back up.

9 KNOPMAN: So the density, just thinking in terms of a
10 slice, a plane through the repository block, you have
11 approximately how many boreholes, direct borehole
12 mineralogical samples that you are working from to do your
13 craging, or whatever, your interpolation?

14 DIXON: Right now, there's 21 or 22 boreholes around the
15 repository that they used to do this. Again, SD-6 is the
16 only borehole that actually penetrates the actual repository
17 where we have coring. And I agree with you, most of our data
18 occur east of the Ghost Dance, and north of the north ramp.
19 I mean, we have a large hole in there of where we are and
20 we're projecting, but you have things like the old H-walls,
21 the hydrologic walls, and other places where you can get
22 cuttings and chippings that give you an idea of what's
23 happening.

24 So some of this right now, we're in the process of
25 trying to determine which of this data you can use, and has

1 to be qualified for site recommendation moving on, but in
2 general, as you get more holes, and again, you don't want to
3 punch the repository full of holes to do things, but there's
4 fairly good indications from everything that's been drilled
5 in the south, even as you go down east of the Ghost Dance,
6 that as you go south, the vitric content of the Calico Hill
7 increases dramatically, and as you go north, the zeolitic
8 content, and that has to do with the tip of the beds and the
9 amount of time they spent underneath the water table at some
10 point in their past history.

11 PARIZEK: Paul Craig?

12 CRAIG: Craig, Board. I'd like to explore with you your
13 confidence--I'm really following on Debra's remark--but back
14 on Number 20, it looks like using your calculations, that for
15 the significant portion of the repository, the delay times
16 are in the order of a thousand years for 50 per cent. And
17 you know the Board is very much interested in defense in
18 depth, and so these numbers are important in thinking about
19 that.

20 I'd like you to, if you can, speculate on the level
21 of confidence that you have in these numbers, and what kind
22 of findings might cause those hold-up times to move up, so
23 that the 50 per cent time for the bulk of the repository
24 wouldn't be on the order of a thousand years, but it might be
25 in the order of 10,000 years.

1 DIXON: That's a good question. I mean, I'm not sure--I
2 mean, I have confidence right now based on just the
3 hysteresis effect you get due to capillary as you move
4 through there. I mean, you slow the water front. I mean,
5 this is strictly just a slowing. I'm not even looking at
6 retardation, because the data aren't fully in on how you're
7 retarding things.

8 The fact of the matter is is that you can get
9 potentially in the zones where you're more vitric and you
10 have a lot of porosity permeability, you may be able to gain
11 an extra order of magnitude if you have retardation there.
12 And the retardation on clays of the key radionuclides that
13 Inez has looked at, and on calcites, there is a fair amount
14 of retention of those key radionuclides to those different
15 elements, and that's one of the alteration products in the
16 more vitric units. You might have 3 to 5 per cent of those
17 sort of constituents, and what has been shown in laboratory
18 experiments, it's not if you have 40 per cent zeolite or
19 something like that, or 40 per cent clay, it's trace amounts
20 of clay, but it's having the interaction and having the
21 capillarity effect where you suck stuff out into the matrix
22 and you get a lot of interaction of that fluid with the
23 matrix allows you to get very, very high sorption
24 coefficients, because you interact with a lot more of the
25 rock.

1 The confidence level right now that we understand--
2 again, these are from the VA, but we understand--we believe
3 we understand what's happening in the longer travel time
4 zones there based on Busted Butte. We believe we have a lot
5 more confidence there. Where we have less confidence in my
6 viewpoint, and where we're doing modeling, is what really
7 happens in the zeolitic zones? Because in some of the
8 zeolitic zones, when you get over 15 to 20 per cent, the
9 porosity and permeability drop off enough that you tend to be
10 dominated by fracture flow. The question is is that how
11 continuous is that zeolite horizon? Based on the boreholes
12 we have, we know that it's interlayered with vitric.

13 So if you have fractures in one part of the Calico,
14 do they extend through the vitric and allow you a fast path,
15 or do you hit, and it's going to be modeled, or is trying to
16 be modeled right now at Berkeley, when you come out of the
17 fracture in the zeolitic and you hit the vitric, what is that
18 spread halo before you head down to the next part, and what
19 is that hysteresis and time of that fluid flow, and then the
20 interaction and sorption.

21 I don't know if I fully answered your question, but
22 I tried there.

23 PARIZEK: Other Board questions? Debra Knopman?

24 KNOPMAN: Knopman, Board. Let me just follow up on this
25 picture, because the more I look at it, the more puzzled I

1 am, I guess, or trying to reconcile this with what I thought
2 I understood about flow through the UZ close to Solitario
3 Canyon Fault, which I thought was more rapid there, but you
4 have more rapid infiltration rates on that side. But also
5 you're showing the longest travel times there.

6 DIXON: I might just ask Bo to step up, because I
7 believe he probably can represent this figure better than I
8 can at this point, since he is the flow and transport guru
9 here, and I'll ask for his assistance, if you don't mind.

10 BODVARSSON: What was the question?

11 KNOPMAN: The question was just trying to understand
12 why--I thought your most rapid infiltration rates are along
13 the west side, along the crest in the Solitario Canyon Fault.
14 But these plots are showing the longest travel times to
15 water table, so--

16 BODVARSSON: Right. What these plots show, and these
17 plots were done by Bruce Robinson of Los Alamos, based on the
18 UZ flow model for the viability assessment, basically what it
19 does is it takes the repository horizon there that you see--
20 see these particles there on the left-hand side, you have the
21 red particles and you have the blue particles, that is just
22 the repository level. And then he follows these particles
23 down without any sorption going into--he's interested in
24 knowing where they go, and interested in the travel times.

25 So the Solitario Canyon high infiltration rates are

1 much further to the west than what you see in this picture
2 there. The very slow times that you see on the left-hand
3 side and the bottom side are due to the vitric part of the
4 Calico Hills that has a porosity of 40 per cent and
5 permeability of 300 millidarcies. The blue thing is the
6 zeolitic rocks that are almost impermeable, as we understand
7 them now, so flow is pretty much through the fracture, so
8 it's very fast.

9 KNOPMAN: So this is just a partial area of the--

10 BODVARSSON: Of the UZ flow and transport model.

11 KNOPMAN: So it's not covering the whole repository?

12 BODVARSSON: No, this is covering where the repository,
13 if you put particles at the repository, where they go, but
14 not the entire UZ flow and transport model that includes
15 Solitario Canyon and further west. That would indicate
16 exactly like you predicted, much faster travel times over
17 there.

18 PARIZEK: Thank you. Parizek, Board. A question on why
19 you might not go to Phase 3. Is that the success of what
20 you've been able to learn from Phase 1 and 2 might be the
21 reason?

22 DIXON: Success of what we learned in Phase 1 and 2, and
23 I would say also the fact that in talking with people, the
24 next phase you might want to try something different than the
25 vitric. You might want to try something where you have a

1 mixed zeolitic and vitric unit, or you might want to try
2 something underneath the repository, or something different
3 related to flow underneath the potential repository.

4 PARIZEK: You have access to rocks like that somewhere
5 in the area?

6 DIXON: There's potential access in different areas. I
7 mean, there was potential to come in off the Solitario Canyon
8 side and get to some things on that side there.

9 PARIZEK: And one other question about the organic dye.
10 I guess it's a fluorescein?

11 DIXON: There's fluorescein and rhodamine used in this.

12 PARIZEK: Which both have maybe some organic tendencies
13 to hang up, different than just working in a pure capillary
14 sense?

15 DIXON: Yes.

16 PARIZEK: Do other tracers show similar behavior, or is
17 it a little premature to answer that yet? I mean, is this a
18 good tracer?

19 DIXON: At this point in time, we've run--before we
20 started some of these tests, there was a series of laboratory
21 tests run to try to get an idea running with what we thought
22 were very conservative tracers versus dyes. The amount of
23 retention of the dyes in these rocks due to sorption or other
24 things, you know, was minimal. But, again, these were short-
25 term tests. We do have other things like lithium bromide

1 here, and other tracers that are conservative, where we can
2 try to look at, and that's what some of these chemical
3 analyses are showing, and there's not a big difference
4 between those two at this point in time.

5 PARIZEK: Thank you. Staff? Leon?

6 REITER: Leon Reiter. We heard about some measurements
7 of Chlorine 36 at Busted Butte. Could you summarize this and
8 tell us what's going on there?

9 DIXON: I'm not prepared at this time to give you that
10 information. I'm sorry. I know that June has some of those
11 numbers, but I was not privy to that information before I
12 came. What I can promise you is that I will get those
13 numbers together from June, get them to Claudia, and she will
14 get them to you here soon.

15 PARIZEK: I have one question from the public, and it
16 has to do with boreholes that are being planned for
17 monitoring purposes and testing and instrumentation. When
18 will these be sealed, and if not, what impact will they have
19 on repository performance? So that's a question that's not
20 identified who gave it.

21 DIXON: I mean, are we talking in the ESF, or are we
22 talking at Busted Butte here with that question?

23 PARIZEK: No, I think this must be in the repository, in
24 the vicinity of any drill holes that might be put there for
25 instrumentation, performance assessment.

1 DIXON: I would think that Mark Peters is probably, or
2 Claudia probably are good people to answer that.

3 NEWBURY: Claudia Newbury, DOE. The sealing of the
4 boreholes would occur at closure. We'd have to have a
5 program in place and the NRC would have to agree that the
6 sealing of the boreholes was adequate before we could
7 actually declare the site closed.

8 PARIZEK: And it might also apply about deep drill holes
9 that are near or that penetrate through the repository
10 horizon. That would also be true for any deep drill holes?

11 NEWBURY: Deep drill holes off the repository block?

12 PARIZEK: Well, there's one. Isn't there just--you said
13 there was one?

14 DIXON: Well, SD-6 is--

15 NEWBURY: SD-6 is on the block?

16 DIXON: It's on the block. But what other holes are on
17 the block--

18 NEWBURY: Anything that was on the block would have to
19 be sealed. Anything off the block would be related more to
20 environmental reclamation than to actually sealing as in
21 sealing for the repository.

22 PARIZEK: If the person who asked that question didn't
23 think they had a complete enough answer, please put up your
24 hand or come back to us and we'll try to get more detail on
25 that. Thank you. Now, Jared Cohon?

1 COHON: Thank you very much. Before we enter the public
2 comment period, we've asked Steve Frishman from the State
3 program to make whatever observations he would like to make
4 about the meeting or about the program, or both. Steve?

5 FRISHMAN: Thank you. I'll try to keep it in line with
6 the types of observations that I have made in the past to
7 this Board, and that's maybe not tell you anything that you
8 don't know or haven't already heard, but maybe present it
9 from a little different perspective to help you think about
10 it, where your responsibilities lie and what the Congress has
11 directed this Board to be doing.

12 First, from Abe's comment this morning, I think
13 it's really interesting that I had to present a paper that
14 was published 6000 miles away for somebody from the Yucca
15 Mountain project to finally read it and notice it. The title
16 of that paper was Transparent Doesn't Always Make it Right.
17 And Abe apparently understands that now.

18 I think since the program is careening towards a
19 site recommendation, that maybe we need to think a little bit
20 about where the Board's duties lie under the Nuclear Waste
21 Policy Act right now. It seems to me that first of all, the
22 most important decision that the Secretary of Energy makes in
23 this entire program coming, oh, more than 15 years after it
24 officially started, is the decision to recommend the site to
25 the President.

1 It's also pretty clear to me that the intent in the
2 Nuclear Waste Policy Act amendment that established the Board
3 was to have the Board in a position to, among other things,
4 inform both the Secretary and the Congress about that
5 decision, and according to the language of the Act, the
6 technical validity of the work that went into that, or at
7 least a portion of that decision.

8 So at this point, I think you're very close to
9 being put on the line, at least in terms of the public's
10 expectation of what you as a statutory body are doing.

11 The Nuclear Regulatory Commission is essentially
12 immaterial in your duties. At the time of site
13 recommendation, you don't have a specially designated duty,
14 other than your normal reporting duty. The Nuclear
15 Regulatory Commission has a duty relative to its regulatory
16 jurisdiction, and that's that at the time of site
17 recommendation, the Commission has to provide a report on
18 whether the information from site characterization seems
19 sufficient for license application.

20 I see that as quite different from your charge to
21 look at the technical validity of site characterization. And
22 the Board, after site recommendation, if the site is
23 recommended, the Board still has some duties, but those
24 continue to be to the Secretary and the Congress in terms of
25 reporting on technical validity, not reporting on your views

1 of what NRC ought to be doing, and your duties end
2 essentially when the Secretary can't do any more than either
3 accept the fact that a license was denied, or is off on--has
4 told the Congress that it's time to start thinking about
5 something else.

6 So the Board's responsibility is to do for the
7 public what the NRC is doing in a regulatory world, I think,
8 and that's does the site meet the expectations of safety, but
9 from a slightly different perspective. In your case, from
10 essentially a standard of scientific completion,
11 comprehensiveness, excellence, and so on. The Commission, on
12 the other hand, has previously established rules maybe, and
13 their judgment is whether the information presented to them
14 demonstrates some reasonable certainty of compliance.

15 So now we're fast getting to a position where the
16 expectation from the Secretary, the Congress, and especially
17 the public, is that you will have some very definitive things
18 to say at this most important public decision.

19 I think what we've heard over the last couple days
20 makes me pretty uneasy about the Department's view of the
21 seriousness of the site recommendation in terms of a
22 demonstration of the degree to which a Yucca Mountain
23 repository might be safe or not, and safe by no standard that
24 we know of today. And I've heard maybe some uneasiness in
25 some areas, but let me go to I guess the way that I and

1 people that I work with and people that I speak to in the
2 public who when they can learn to understand DOE's language
3 in this program, begin to expect things to be shown to them.

4 First of all, I take the Yucca Mountain safety
5 strategy as sort of a basis for a site suitability
6 determination, and it's invented by the Department, but it
7 says how they think the site ought to work, to create a site
8 that meets expectations of safe disposal. The elements of
9 that are just in shorthand, low seepage, long-life waste
10 package--this is nothing new that people don't know--slow
11 release in transport, and concentration reduction.

12 Well, if we look at the things that we've seen over
13 the last couple days, low seepage is pretty wide open, and I
14 think some of the information that was presented from the
15 drift scale heater test talks about how wide open that might
16 really be, because there were things that I think were maybe
17 unanticipated in the sense that we have to sort of rethink
18 conceptually how water might move around based on both the
19 heat-up and the cool-down.

20 Now, in general, I think maybe we're all sort of
21 thinking the same thing. But in the specifics of it, I see
22 some sort of interesting things about how water may move,
23 especially during and after a cool-down, once we see that the
24 water doesn't violate gravity, which I hope we didn't expect
25 it would, but also that water is likely to flow back through

1 on the cool-down. But also, those tests aren't going to be
2 completed, and especially the very important aspects of cool-
3 down aren't going to be completed until well after the site
4 recommendation.

5 And this is one of the key elements, regardless of
6 what the temperature is, as long as you have it high enough
7 to where you have a vaporization condensation process going
8 on, and it looks to me as if even though the impending
9 decision by the Department for its latest design, and I
10 remind you only latest design, is a couple weeks away, and
11 I'll talk about that a little more in a minute, it looks to
12 me as if the decision has been made that we are going to have
13 a repository design that includes some amount of rock at
14 boiling temperature.

15 So that long-term heater test is not going to be
16 available to tell us anything really reliable about seepage
17 until way after the recommendation is made.

18 The long-life waste container, well, we've heard
19 that it's even better than anybody ever thought in the last
20 few days. I have a hard time conceiving of something that is
21 essentially indestructible in nature for over 100,000 years,
22 when we don't really have a lot of experience, and some of
23 you may think that I'm ignorant, but at the same time, I'm
24 not convinced, and you may convince a licensing board at some
25 point, but you're out in an area where it's very difficult to

1 convince people that from your engineering judgment, and a
2 few years of research, that we can have essentially near 100
3 per cent reliance on a repository, when in fact what would be
4 made under these circumstances is not really a site
5 recommendation, it's a continual recommendation, because
6 that's where the reliance really is.

7 We look at slow release in transport, we have some
8 places to go. I think the question about this latest Calico
9 Hills work is important, and that's how do you know it means
10 anything in the repository system overall. We also know that
11 the UZ model still relies on things like that, and probably
12 isn't going to get very much, if any, better for the site
13 recommendation. We also know that there are some conceptual
14 issues having to do with the UZ model, and back in I think it
15 was '91 and '92, there was a small flurry of concern about
16 alternative conceptual models, and yesterday, Marty Mifflin
17 brought up the point that a lot of what is being discussed
18 was first mentioned back in that, and even before that time
19 period.

20 So we still have a what I believe to be a
21 controversy over conceptual model, and I think there's enough
22 information out there, and also if you look at even the most
23 lenient requirement that might show up in NRC's Part 63, the
24 Department still is going to have to look at alternative
25 models and explain something to some extent why they objected

1 to models that they're not using.

2 If you look at the concentration reduction, once
3 again, I think the saturated zone model is under as great or
4 greater, probably greater fire than the unsaturated zone
5 model. And it likely will get better through time, not
6 because it was planned all along to understand the saturated
7 zone, but because work finally is being done now. Once
8 again, the results of that work and any definitive basis are
9 not going to be available to improve people's confidence in a
10 site recommendation, when that site recommendation is the one
11 that is really a go/no go as far as the judgment of an
12 official who can only really be challenged on whether that
13 decision is arbitrary and capricious or not.

14 When that site recommendation decision is made,
15 there are essentially no criteria that the Secretary is bound
16 to hard and fast, and what few there are, the Department is
17 trying to get rid of. So it's a decision, a policy decision
18 where there is essentially no hard and fast standard. So the
19 only thing that we, the public, can do is try to hold the
20 standard as high as possible.

21 Now, I think for M&O's recommended design, you're
22 really being sort of unfairly put on the spot, where you were
23 told yesterday that it's sort of expected that you'll give
24 your views on that EDA II before the Department makes its
25 final decision in a couple weeks.

1 I'm sensitive to at least one of the comments that
2 was made yesterday about there's an awful lot of hidden
3 policy in that recommendation that is not explicit, and also
4 should be out there for other people to be involved in. And
5 I guess the only way that I can see how to do that, and I
6 know this once again violates Lake's schedule and all the
7 rest, but at the same time, I think this recommendation is
8 important enough to where Lake can put his schedule aside if
9 enough people think the job is not being done well enough and
10 there's not enough certainty, and there has not been enough
11 involvement in the types of policy decisions that are very
12 deeply embedded in this latest design, and also in other
13 parts of the whole repository evaluation.

14 The simple thing to do, and the fact that we're
15 dealing with not only the need to rely on essentially all
16 future for containment of the waste, we now know that we have
17 10,000 years free time on a container, I think maybe we could
18 take a few extra months, or even a little bit longer than
19 that, why not get the real repository proposal in the EIS and
20 then we'll all review it, rather than putting the Board on
21 the spot to piecemeal something that I know you're
22 uncomfortable doing, and I think it's absolutely unfair for
23 you to be put on the spot for what is only the latest
24 greatest design.

25 I've been in this program since day one. I've seen

1 a lot of latest greatest designs, and I also am getting more
2 and more sensitive to presentations such as we had almost all
3 day yesterday where we, by the end of the presentation, we're
4 supposed to be thoroughly convinced that the engineers
5 thought of everything. And current members of the Board have
6 been through this a few times. So why not be in a position
7 where instead of putting the Board on the spot for something
8 that in the long-term probably is not really very meaningful,
9 because what they'd love for you to do is say yeah, yeah,
10 that's great, and then they'll change it again in about a
11 week anyway. So you've bought into a little piece of it, and
12 now you're going to have to buy into more, and that's going
13 to keep going on, because that's the history of this program.

14 So why not just say okay, DOE, it's time for you to
15 tell us what it is you think you can do, and tell us in very
16 definitive terms, and maybe just stop for a little while and
17 let the Secretary decide whether to recommend this site, do
18 an EIS like all other big projects have to do, let the people
19 decide, let Congress decide whether from a policy basis it's
20 a good thing to do, rather than as is very obvious, and other
21 people are using the terminology now, and that's "there's a
22 train coming and get the hell out of the way." The
23 alternative I think at some point, we're going to have to end
24 up, and it's just a matter of how many more hundreds of
25 millions of dollars get spent before that happens.

1 I guess only one other point that I want to make
2 just for your thinking, and I think it goes once again
3 directly to the idea of how important the site recommendation
4 is, and that's the idea of essentially deferring a closure
5 decision, which means deferring a disposal decision. That's
6 not what the original Act was all about.

7 Also, if you go back, and I never believed, really
8 believed the good intentions at the time when in the late
9 Seventies, people started out spouting this "we created this
10 problem, we can't leave its solution to a future generation."
11 Well, now what we're suggesting, or what is being suggested,
12 if you defer closure, which is deferring a disposal decision,
13 what we're really saying is we are deferring the problem to a
14 future generation.

15 And what is implicit in the idea of pushing it out
16 there, and I know I heard Lake and others talk about how
17 wonderful it is to let them make this decision, when the idea
18 is sort of bounded in the assumption well, maybe there's a
19 resource there and we can make them rich or something.

20 Well, what's really underlying it from this
21 program's point of view is passing on the presumption that it
22 will be absolutely safe, so they can make decisions about all
23 other wonderful things if they want to close it, or be
24 absolutely safe if they want the resource, fine. But the
25 presumption and the idea of deferring is we're deferring

1 something safe.

2 If you look at what is behind the recommendation,
3 that presumption is not supportable, and in fact what we're
4 doing is we're deferring more risk to future generations than
5 we are--than we would if we didn't do anything.

6 So just a point to think about in terms of the
7 importance of the site recommendation, and sort of the
8 planning that's behind it, and where the Board needs to weigh
9 in because, and I told myself I wouldn't do very much of
10 this, but if you look at all of the oversight, which is the
11 most overseen program in the world, we're about--you're about
12 all we've got left, because the regulator sure isn't going to
13 do it for us, and we know that.

14 Thank you for your time.

15 COHON: Six people have signed up to make public
16 comment. Let me just go over some ground rules very briefly
17 for how we'll conduct this session.

18 First of all, please recall or be aware, if you're
19 not aware of this before, your remarks are for the record.
20 They're being recorded, which is one of the values of the
21 public comment period in our meetings, I think.
22 Consequently, we'd like you to identify yourselves with your
23 name, your affiliation, if any, and if you care to give it,
24 it's not necessary, and please talk into a microphone, either
25 the one right there or the one up here, whichever is your

1 preference.

2 Because of the number of people who have signed up,
3 and the lateness of the hour, I'd ask each of you to try to
4 restrict your comments to five minutes. I will motion or
5 otherwise make myself annoying, I guess, at five minutes so
6 you know time is up.

7 We'll start with Englebrecht Tiesenhausen from
8 Clark County. Is he still here? There he is.

9 VON TIESENHAUSEN: Thank you, Mr. Chairman and Board.
10 I'd like to thank you all for giving me the opportunity to
11 listen to your questions and to listen to all the
12 presentations that were made by the program people. Many
13 significant issues were discussed, and obviously I'm not
14 going to go through those again, and I promise not to incur
15 the wrath of the Chairman by going over my time limit either.

16 In my estimation, the Board's next report will be
17 one of the most important ones as far as the program is
18 concerned. I, therefore, urge the Board to evaluate as
19 comprehensively as possible the information they have then
20 and will be given.

21 I also strongly urge the Board to present their
22 findings and conclusions in a very direct manner. This would
23 make the report more understandable to the public, and
24 clearly identify the areas that need further study, or those
25 where more transparent presentation or further elucidation of

1 past studies or decision processes is needed.

2 Thank you.

3 COHON: Thank you. Sally Devlin.

4 DEVLIN: Again, thank you so much for coming to Beatty.
5 It's always a pleasure to see you here in Nye County, and I
6 hope you'll do it again, and I hope we can have you in
7 Pahrump. But of course I have to leave you laughing, and I
8 have some very good news for you. The bad news is first, I'm
9 all out of geriatric tables. So I'm sorry about that. But
10 the good news is we got some money at the University, and we
11 are going to test the water starting in November, which we
12 will present to you all for radiation, as well as fluorides
13 and nitrates. So that's going to be fun, and you will hear
14 from me on that.

15 Now, I see Lake Barrett isn't here, so I can't yell
16 at him. Is someone here from his office? Abe? Oh, good.
17 Because I had a comment for you. Abe was talking and he used
18 in one sentence six acronyms, and I said if you're going to
19 write this book and the public is going to read it, you had
20 better put a large glossary in the front so that we know
21 English. We're so used to talking these acronyms, you don't
22 even realize that the public doesn't understand a word you're
23 saying. So I really do, I would like his address so that I
24 can have the Board write to him to start on our \$50 million
25 project.

1 The other one is that I need the Board's address so
2 that I can ask you, or the hospital board can ask you for a
3 recommendation for our big project, because it's got to start
4 now. This is not something that you can go with, and I
5 understand the attitude that if we don't get Yucca Mountain,
6 well, who cares. My feeling has always been about the test
7 site, that Yucca Mountain is at the test site, and the test
8 site is totally contaminated, and even though you're on part
9 of the Tonopah Test Range, that you're just as contaminated.
10 And if it doesn't go, you're still going to have to clean up
11 the mess. So you need something medical for your needs.

12 I think it is important for this Board to care
13 about the workers and the doses that they're getting, and DOE
14 is having all the people that have worked at the test site,
15 Hanford, SRS, and so on, go in for physicals. At Hanford,
16 they had 8,000 people show up. They had money for 2,500. So
17 you see we're doing this at the test site. These people are
18 dying of cancer, and I know them, and that's not nice. So we
19 have to have all kinds of medical, and this goes towards
20 transportation, too.

21 I've talked to OSHA. They're not going to do a
22 darned thing for ten years. But unless you have something
23 that not only the dangerous test site, Tonopah Test Range,
24 Nellis, and so on, and you have some medical, and then you
25 have the people, and you heard Tom talk about 150,000 in

1 Pahrump, and then you have our one interstate highway, which
2 is a nine hazard, U. S. 95 is as high a hazardous road as
3 they have, we have got to have something medical and it's got
4 to start now. Because it will take five years, it will take
5 someone with imagination and guts, and so on, to put the PUB,
6 the DOE, everybody together, because this is a major project
7 that may lead to the whole state going this way, that may
8 lead to the whole nation getting modernized. But until
9 Nevada grows up and realizes this has got to be done,
10 somebody has got to take up the cudgel.

11 So the only other thing I have, and of course I was
12 rather concerned, and that is I have been talking about the
13 Nelson limits, and when the man was talking about the
14 canisters and I asked my question, what I really wanted was
15 them to invent a little tiny canister that is in proportion
16 to the one that will be used, and that they would put the
17 four or five tons of the high level waste in. But I want
18 them to reduce it, and I want them to reduce the waste, and
19 then I want them to put it in a little iron room and fill it
20 with water and all the rest of the stuff that's going to
21 happen in Yucca Mountain, and then if the Nelson limits prove
22 true, then it will explode, and that's what I'm talking about
23 with the Nelson limits.

24 So this is my suggestion for a test to see if this
25 catastrophic explosion will occur. I didn't mean for

1 everybody to put four or five tons in a real grown up
2 canister. So please understand that this would be a little
3 bitty test, so only a little bitty would blow up.

4 The only other thing I have to add, and of course I
5 have to leave you laughing, and that is about costs. I have
6 been talking about, and it's on Page 45 of Volume 2 of the
7 Viability Assessment, about two repositories. I brought with
8 me Senator Domenici's remarks about two repositories. I have
9 Russ Dyer's quote about oh, gosh, we found 109 metric tons of
10 high-level waste. And I've been saying for years to this
11 Board we've got 126,000 metric tons. So I'm very concerned
12 about the cost, because in Volume D in the Appendix on Page
13 D-1, it says 1,500 canisters will cost \$3,000,000,681. And
14 the reports I heard today, they will be 10 billion to 20
15 billion.

16 Now, if we have two repositories and time goes on,
17 and so on, and I know we have inflation and I know all this
18 stuff is \$98 or \$97, we're talking just for canisters, 40
19 billion. Well, the Congressional report back in '94 says 25
20 billion for the first repository, and 35 billion for the
21 second, and I'm so sorry, but being an old housewife, you
22 know, on a budget, I don't think that's nice to double and
23 triple the money. And will the public accept it?

24 And so with that, I hope you're laughing, because
25 if it gets up to 60 billion, I'm leaving.

1 COHON: Thank you, Mrs. Devlin.

2 Mrs. Devlin, just one clarification. I won't call
3 it a factual clarification, but a data clarification. In the
4 designs that DOE presented yesterday, their cost estimates
5 are in the range of \$20 to \$24 billion, and that includes--
6 well, good or not, that's a number and that's their latest
7 estimate. So that's the number that they've been using.

8 DEVLIN: That's a very nice number. Thank you very
9 much.

10 COHON: Thank you, Mrs. Devlin. Jerry Szymanski. You
11 might want to repeat your name and if you care, your
12 affiliation just so we get it right on the record.

13 SZYMANSKI: Jerry Szymanski, that's S-z-y-m-a-n-s-k-i.
14 I do consult part-time for the attorney general, State of
15 Nevada.

16 My comments pertain basically to Nye County
17 results. First of all, I would like to welcome the Board to
18 Beatty, where it's hot. I found that the title Early Warning
19 is particularly appropriate for the program, and I do not
20 mean early in terms of the future releases from the
21 repository. I mean in terms of the conceptual understanding
22 of the hydrologic system with the old geological system,
23 which is--to the decision to be taken very late next year,
24 which is site recommendation.

25 Now, what we have found already, based on the

1 results, is there is a hydraulic mound. We do know that this
2 is not perched water. We also know that the head is
3 abnormal, it is higher than it is upstream in the flow paths.
4 So we are clearly dealing with a hydraulic mound.

5 Now, what is causing it? And there are two general
6 possibilities. One, the process which might be being
7 explored there is what we call a forced convection, that is,
8 there's something which are broken the floor and the water is
9 flowing upward. There's another possibility, and that
10 possibility is that we are looking at the terminally unstable
11 system, which is hosted in a mechanically unstable system.
12 What do I mean by that, terminally unstable? It is basically
13 that the number exceeds its stability limits, and the water
14 is convecting. Mechanically unstable, I mean that the
15 temperatures are changing. In other words conductivity of
16 the host is changing.

17 By putting two together, you might begin to
18 understand the relevance of the second possibility. Now, I
19 do understand that the first one, this forced convection, is
20 a natural way that hydrologists think about things like that.
21 However, there's no basis for it. Short of observing the
22 system for a very long time, and I mean like tens of hundreds
23 of years, we cannot tell the two apart. We just don't know.

24 Now, it would inappropriate if we were to call one
25 of the Delphi systems to pass the judgment on what is it.

1 Now, fortunately at Yucca Mountain we got lucky. The--hosts
2 the whole bunch of minerals which we all agree were deposited
3 by water, and mostly agree lately that some of them were
4 deposited by hot water. What we do not know is the age of
5 these minerals. Now, what is important is that we will not
6 know this age when the site recommendation report is
7 submitted to the President. So, in other words, the most
8 fundamental question won't be answered.

9 Well, there's another opportunity, which is offered
10 by Nye County results. It is quite easy to obtain samples of
11 the water, obtain isotopic signatures of the water, and I
12 mean strontium, I mean uranium, lead, carbon and oxygen, and
13 try to match the signatures with the signatures of the
14 deposits which exist at Yucca Mountain.

15 If you recall, there is the USGS work whereby they
16 had found that the minerals which we're talking about were
17 not deposited by water immediately from below the water
18 table. That's true. Somehow, USGS is getting to the
19 conclusion, therefore, they must have been deposited by
20 rainwater. Well, I wouldn't go that far. Logic tells me
21 that the conclusion that some other water was involved is the
22 only one which is justified.

23 In other words, we can perform the testing, is it a
24 forced convection or is it an unstable system, with a very
25 small investment of money and time. It can be done within a

1 few months, and would cost tens of thousands of dollars, no
2 more.

3 Now, at the end of my speech, thinking about
4 responsibilities of the Board that Steve Frishman outlined, I
5 would seek the assistance of the Board to assure that the
6 question, is it A system or is it B system, is answered
7 before--I underline before--the recommendation is given to
8 the President. Otherwise, we will be looking at a very, very
9 messy process in the future.

10 Thank you very much.

11 COHON: Thank you, Dr. Szymanski. Earl McGee?

12 MC GEE: My name is Earl McGee. I'm from Amargosa
13 Valley. I'm a United States citizen; that's what I
14 represent, nothing else. And I want to repeat what I tried
15 to get across to Lake Barrett and the other group in 1995. I
16 asked a question what is your alternative if Yucca Mountain
17 is found to be unsuitable. There was no answer. I told him
18 it would appear like man has created a monster and now
19 they're admitting that they cannot control that monster.
20 Burying any of that in the earth is the most insane thing
21 I've ever seen, and that goes back to 1943, when three months
22 after I turned 16 years old, I was 6,500 miles away in the
23 South Pacific, and I saw a lot of things there that I didn't
24 agree with, and I certainly don't agree with this.

25 You people have worked hard, every one of you.

1 There's no doubt about it. It's the very beginning of that
2 work that I differ with. If we can't find some way of
3 processing or controlling that, and like I told Lake Barrett
4 and the other group, build the vaults on the surface of the
5 earth, build them strong enough to where in case of an
6 earthquake, any seismic activity, they would rock like this,
7 and you could line that with space age technology. Like one
8 gentleman said, well, concrete won't last 10,000 years.
9 Hell, humanity as we know it is not going to last 10,000
10 years. That's obvious. They get their mind out of their
11 backside and start thinking positive. I'm a member of the
12 human fraternity. I don't deny any other segment of the
13 human fraternity for their views. I may differ with them,
14 but I don't deny them, and haven't.

15 And like the meeting on Fernald when I asked the
16 quest of what are you going to do with that when you get it
17 on the test site, well, we're going to bury it in a shallow
18 grave, which is ridiculous. We've got to take all waste and
19 do something with it, process it in some manner. And like I
20 said more than once, this so-called Superfund cleanup is a
21 joke, and it's nothing but a joke. We can do better, but it
22 has to be at the very foundation.

23 The gentleman who just spoke gave a lot of reasons
24 for not having that out here. Hell, it shouldn't be
25 anywhere, and you shouldn't transport it across the country.

1 I said that at another meeting. It's stupid.

2 I notice that Mr. Frank Kane, who's president of
3 the Building and Trades in Las Vegas, wrote a letter and I
4 think it was, oh, the Senator from Alaska who read that on
5 the Senate floor. Frank worked for me down there when I was
6 with Raymond International, one division of it. I left him
7 on the project to cover it. He's an iron worker. When I
8 heard about this letter that was read there, I got ahold of
9 Frank and told him, "What the hell is the matter with you?"
10 He said, "Well, Earl, we've got to put it somewhere." It's a
11 joke.

12 And I want to thank you very much, and I commend
13 you people for your endeavors. You've worked hard. The only
14 thing is the work is not in the right direction.

15 Thank you.

16 COHON: Thank you, Mr. McGee. With apologies for
17 mispronouncing, I won't even try so I don't mess it up, Ms.
18 Hazlett. Maybe you could restate your full name, because I
19 didn't get it.

20 HAZLETT: My name is Glen Hazlett. I am a Blackfeet
21 woman that lives in Tocopah, California, and I work with
22 Corbin Harney, who's a Western Shoshone elder who can't be
23 here today, and asked me to say a few words, and some people
24 that came with us.

25 You know, I have to say some things that he wanted

1 to get across, and for the record, this Yucca Mountain is a
2 sacred site to the native people. It would be the same thing
3 as if the government wanted to store this waste in your
4 churches, because we cannot have our ceremonies without our
5 land. We don't use buildings. We have these sacred places,
6 and the whole test site belongs to the Western Shoshone
7 people, and they are not allowed to use it. Of course, it's
8 a little unsafe right now.

9 And to even consider using Yucca Mountain as a
10 repository with all of the earthquakes going on making it
11 unstable, with the sub-critical tests that are being
12 conducted that further make the ground unstable, as I said to
13 someone last night, it's like trying to store water in a
14 shaky sponge, and the safety of all the people is at risk.
15 Everybody is at risk. It's not just people 25 miles down the
16 road in Amargosa Valley, like I heard somebody else say at
17 another meeting. You know, it's all of us. It can't be
18 stored there. It's not--the scientists know this, the
19 geology reports, it's unstable. And transporting it across
20 the country is very dangerous.

21 I know from personal experience, because I'm an
22 anti-nuclear activist also, and some of our road blocks that
23 we've had, we have found the trucks hauling these things into
24 the test site to be leaking very badly. So it's just--
25 really, I don't know what the solution is, but if you stop

1 producing it, if you shut down the nuclear power plants,
2 contain it there and then put all your energies into finding
3 a solution for this, solar power is good, wind power is good.
4 In fact, considering the talk about this Y2K problem, you're
5 going to have to use solar panels on these nuclear power
6 plants or they're going to blow.

7 Thank you.

8 COHON: Thank you, Ms. Hazlett. Ms. Gillmore? And
9 maybe you could state your full name, since I didn't get it.

10 GILLMORE: My name is Maria Gillmore. I'm speaking as
11 your sister. I'd like to address the overall problem of the
12 nuclear waste site and to ask, if not demand, the cessation
13 of any further production. Healthy and harmless alternatives
14 should be fully utilized from this moment onwards, regardless
15 of the cost. And we are like lost children right now with a
16 problem far bigger than our young minds can consciously deal
17 with, and who do the children turn to for advice?

18 Not so many of the native elders are left, but they
19 are due to meet soon and I feel compelled to inform you of
20 the forthcoming gathering of the traditional elders from all
21 over the world, which will take place between the 12th to the
22 17th of October this year at Angels Gate Cultural Center in
23 San Pedro, California in the hopes that a group of your
24 members may attend and join in talks to find a solution to
25 our present predicament, because it's all of our problem.

1 Thank you.

2 COHON: Thank you, Ms. Gillmore.

3 Are there any other members of the public who would
4 care to make a comment or ask a question?

5 (No response.)

6 COHON: Seeing none, let me just make a few closing
7 remarks.

8 This has been a very good meeting I think, and a
9 very significant meeting for many of the reasons that Steve
10 Frishman offered in his observations. This is a key moment
11 in the history of this program, as DOE nears a decision about
12 a design that they will carry forward.

13 In a lot of ways, it's the beginning of the stretch
14 run, if you will, towards a site recommendation to the
15 President. That's a very short time away, 2001 is very
16 close. There's a great deal to be done, not just by DOE and
17 its contractors, but by this Board, including, as we've
18 heard, commenting on the recommended design that DOE is
19 considering.

20 We heard about the scientific program, a status
21 report on that, which was very useful. It was particularly
22 encouraging to hear from the participants of Nye County in
23 the science program, especially their drilling program, and
24 it was good for us to see it on our way up here on Monday.

25 I do want to emphasize that we, the Board, both

1 understand the role that we play, not very different in fact,
2 Steve, from what you suggested, and we're very aware and
3 sensitive to the key decisions and milestones that are before
4 this program between now and 2001. We will be up to the
5 task, I hope.

6 I want to thank several people for this excellent
7 meeting. Let me start with Carl DiBella, a member of our
8 senior staff who was responsible for putting together the
9 technical program. Carl, raise your hand, please. We
10 appreciate your efforts.

11 Mike Carroll, our Deputy Executive Director, who
12 also handled all the coordination for this meeting. Mike is
13 sitting at the back. Thank you, Mike.

14 Linda Hiatt and Linda Country, both of whom already
15 left for Las Vegas to advance our next meeting, our business
16 meeting which will start tomorrow, they handled all of the
17 logistics, as they always do for our meetings. I imagine
18 it's always a challenge, but doing it in a place like Beatty,
19 a good two or three hours from Las Vegas, is a particular
20 challenge, and it went off very well, and I want to thank
21 them.

22 Our support people who make the record possible and
23 make it possible for all of us to be heard, I want to thank
24 them, Scott Ford, our recorder who's always with us. Scott,
25 that's S-c-o-t-t. And John Stout, our audio guy.

1 I want particularly to single out one person here
2 in Beatty who was just magnificent. If she's not in the
3 room, I hope we can find her. There she is. Please come
4 out, Mary. This is Mary Ball. Mary, I just want you to know
5 with all the talking and all the stuff that's gone on the
6 last few days, you're the only person who got a real ovation.
7 Now, what does that tell you.

8 BALL: Thank you. But what did I get that for?

9 COHON: For everything you did. We appreciate not only
10 the coffee and the drinks, but everything was on time,
11 everything was great, it was flawless, and we thank you very
12 much.

13 BALL: Thank you. I appreciate that. But let's also
14 give a hand for Dorothy Foresithe. I don't think she's here,
15 but she did help me out.

16 COHON: Let's hear it for Dorothy. Thank you.

17 The folks at the Senior Citizens Center, who could
18 not have been nicer in feeding us and caring for us, and the
19 Town of Beatty generally for welcoming us in a variety of
20 ways, it's my first time here, the second time for many of
21 the staff, but the first for most of the members, and I'm
22 looking forward to coming back.

23 I do want to say that having our meetings in places
24 like Beatty is not only important so the Board and DOE and
25 others can hear from the public, but it gives the Board

1 members a sense for the place where the possible site will
2 go. You cannot get that being in Washington or Pittsburgh
3 where I am, or where any of the other members are located.
4 You have to be here.

5 Now, although we were only here for a couple of
6 days, we have been elsewhere, not in Beatty, but Pahrump,
7 Amargosa Valley--Valley, as Mrs. Devlin said, and we'll be
8 back. So thank you for the experience, not just for the
9 hospitality, but for giving us the chance to get to know
10 Beatty and this place a bit more.

11 Thank you all for your participation and comments.
12 We'll see you at our next meeting. I don't remember when
13 that is, but watch our website and watch your mail.

14 Thank you very much. We're adjourned.

15 (Whereupon, at 3:10 p.m., the meeting was
16 adjourned.)

17

18

19

20

21

22

23

24

25

1