

UNITED STATES
NUCLEAR WASTE TECHNICAL REVIEW BOARD

Meeting of the Panel on the Waste Management System

SPENT FUEL TRANSPORTATION

July 10, 2000

Shilo Inn
780 Lindsay Boulevard
Idaho Falls, Idaho 83402

NWTRB BOARD MEMBERS PRESENT

Mr. John W. Arendt, Panel and Meeting Chair
Dr. Daniel B. Bullen
Dr. Paul P. Craig
Dr. Richard R. Parizek
Dr. Norman Christensen

SENIOR PROFESSIONAL STAFF

Dr. Carl Di Bella
Dr. Daniel Metlay

NWTRB STAFF

Dr. William Barnard, Executive Director
Karyn Severson, Director, External Affairs
Linda Hiatt, Management Analyst
Linda Coultry, Staff Assistant

CONSULTANTS

Robert Luna

I N D E XPAGE NO.**Introductory Remarks**

John Arendt, Panel Chair and Meeting Chair
 Nuclear Waste Technical Review Board 4

OCRWM Update and DOE Transportation Protocols

Jim Carlson
 Office of Civilian Radioactive Waste Management. 6

Modal Study Update

Robert Lewis
 Nuclear Regulatory Commission 34

Update on Naval Spent Fuel Disposal Work

Don Doherty
 Naval Nuclear Propulsion Program 56

Update on Naval Spent Fuel Transportation

Ray English
 Naval Nuclear Propulsion Program 75

Human Factors in Railroad Operations

Chuck Dettmann
 Association of American Railroads. 95

Human Factors in Cask Manufacturing

Garrick Solovey
 Precision Components Corporation 116

**Railroad Performance Specification for
 Transportation of Spent Fuel**

Robert Fronczak
 Association of American Railroads 148

**Views of States That May Be Affected by
 Spent Fuel Transportation**

Jim Reed
 National Council of State Legislators. 161

**Nevada Issues Related to Transportation
 of Spent Fuel**

Robert Halstead
 State of Nevada. 177

I N D E X
(Cont.)

PAGE NO.

**Views of Affected Local Governments on
Spent Fuel Transportation**
Fred Dilger
Clark County, Nevada 202

Adjourn 211

1 P R O C E E D I N G S

2 ARENDT: I wonder if you could all take a seat, please?
3 And if you will excuse me for not standing, but I can barely
4 hobble around, so I'm going to try to do this sitting down.

5 I will stand just for a moment, though, just so you
6 can see me.

7 I'm John Arendt. I'm Chair of the Waste System
8 Management Panel. I'm assisted here this morning, I'm
9 actually a chemical engineering consultant. My major
10 experience has been in the nuclear fuel cycle. I'm assisted
11 here this morning with Dan Bullen. Dan is Director of the
12 Nuclear Reactor Laboratory, and Associate Professor of
13 Mechanical Engineering, Department of Mechanical Engineering
14 at Iowa State University.

15 Norm Christensen. Norm is Professor of Ecology and
16 Dean of the Nicholas School of the Environment at Duke
17 University.

18 Paul Craig. Paul is Professor of Engineering
19 Emeritus at the University of California at Davis, and is a
20 member of the University's graduate group in Ecology.

21 Richard Parizek is a member of the Board, but is
22 not a member of the Panel. Richard is Professor of Geology
23 and Environmental Engineering at Penn State University.

1 Deborah Knopman is a member of the Panel, but she
2 is unable to be with us this morning.

3 I'd now like to introduce members of the staff.
4 Carl Di Bella, who has played a key role in setting this
5 meeting up. Linda Hiatt and Linda Coultry, they are in the
6 back. Bill Barnard, who is Executive Director of the NWTRB.
7 Karyn Severson, who also played a role in setting up this
8 meeting. And Dan Metlay from the staff. And Bob Luna is to
9 my left. Bob is a consultant to the NWTRB for this meeting.

10 A couple items that I'd like to mention. There has
11 been a time set aside, as you'll notice from the agenda, at
12 the end of the day, it starts at 5:10 p.m., and this time of
13 the day has been set aside for public comments. And anyone
14 here desiring to make public comments should register in the
15 rear, either with Linda Hiatt or Linda Coultry, and depending
16 on the number of comments, we may have to set a time limit on
17 the length of the comments, but certainly your entire comment
18 will be included in the record. So we would like to get a
19 copy of it if it takes longer than five minutes. So your
20 comments really can be of any length, but we may only limit
21 them to five minutes oral comments.

22 We're also going to try to answer questions from
23 the audience, not after each of the speakers, but if you have
24 questions during the day, if you would give me a written copy
25 of the question, and if we have time, we will attempt to have

1 a Board member answer the question. I won't make too many
2 promises, but it will depend on the time that we have
3 available.

4 So let me repeat the most important thing is if you
5 want to make comments at the end of this meeting at 5:10
6 p.m., make sure that you register in the rear with one of the
7 Lindas.

8 I think we've got a very informative meeting today.
9 We have people who are very knowledgeable in the various
10 topics that are going to be discussed.

11 The first speaker that we have this morning is Jim
12 Carlson, James H. Carlson, who is the Acting Director, Office
13 of Acceptance, Transportation, and Integration with the
14 Office of Civilian Radioactive Waste Management, Department
15 of Energy. Jim?

16 CARLSON: Good morning, everyone. This is to remind me
17 who I am.

18 Thank you, John, for the introduction. It's a
19 pleasure to be here today and have the opportunity to talk to
20 the Board about a subject that actually hasn't been covered
21 for several years, since the program's been fairly inactive.

22 Just by way of background, I have been with the
23 Office of Civilian Radioactive Waste Management since it was
24 formed when the Nuclear Waste Policy Act was passed. Prior
25 to that, I was in the Reactor Development Program within the

1 AEC. I've got I think it's over 30 years now with the
2 Department of Energy and its predecessor agencies in the
3 nuclear area.

4 And I guess within RW, I've been involved with the
5 monitored retrieval storage proposal, actually, the original
6 liaison with the Technical Review Board when it was first
7 established, the waste acceptance area, the systems
8 engineering area, and the transportation area.

9 What I thought I would cover today, just by way of
10 background, is a little bit about update on where the
11 transportation program is, both organizationally within RW, a
12 little bit of the overall program status, where the budget
13 sits, and what the transportation program outlook looks in
14 the near future.

15 Then the second area, Mr. Arendt asked me to talk
16 about the transportation protocols. I didn't feel I could do
17 that without a little bit of context with regard to a couple
18 other DOE transportation initiatives that have been going on
19 in Washington and with some of the field involvement. This
20 would be what we call the Senior Executive Transportation
21 Forum and the Transportation External Coordination Working
22 Group. But I will be focusing on the protocols.

23 There have been several, I guess, recent changes
24 within the Office of Civilian Radioactive Waste Management
25 program, particularly with regard to the area that I work in.

1 The Office of Acceptance, Transportation, and Integration is
2 located in Washington. It is pretty much the technical arm
3 of the program that's located in Washington. It consists of
4 two divisions, Waste Acceptance and Transportation Division,
5 where that's my job that I normally have as the Division
6 Director, and the Systems Engineering and International
7 Programs Division, which is headed up by Jeff Williams.

8 Dwight Shelor, who was the Director of the Office
9 of Acceptance, Transportation, and Integration, retired about
10 a month and a half ago, and I've been acting since then.
11 Within my division, there are two teams, the Transportation
12 Team, which the team leader, who is Bill Lemischewski,
13 retired about two and a half months ago, so we're down to a
14 two person staff, and I'm also acting as the team leader in
15 that capacity. We don't have a lot of quantity, but we do
16 have quality.

17 The Waste Acceptance Team is headed up by David
18 Zebranski. They're responsible for administering the
19 standard contract that we have with the utilities, with
20 managing the interface with the external parties whose waste
21 we need to receive. They're also very busy these days doing
22 litigation technical support, since we do have all the
23 ongoing lawsuits with the utilities.

24 I will mention one other individual that you
25 haven't met, Sandra Waisley. She's up in the front office

1 now as the Associate Chief Operating Officer. She's come
2 over from Fossil Programs in the Department of Energy.

3 And I also, although Cory will shoot me for it, one
4 of the Transportation Team, Corrine Manacaluso, who is
5 actually doing most of the work on the protocols effort for
6 RW, is with me here today.

7 Now, this is simply to illustrate where we are and
8 where it looks like we're headed with the transportation at
9 this time. Right now, and I'll mention it in a few minutes,
10 we've published a draft request for proposals for Waste
11 Acceptance and Transportation Services, in fact, we've
12 published two drafts. We expect once we know where we're
13 going, to reissue the draft for one more round to address a
14 few areas that are still open in it, and to solicit another
15 round of comments to make sure we've got something that we
16 think will work.

17 We expect to reissue, I'm not certain whether we'll
18 go out with another draft on our 180(c) notice of policy and
19 procedures. Section 180(c) is the requirement in the Nuclear
20 Waste Policy Act which directs the Department of Energy to
21 provide technical assistance and funds to states and tribes
22 for training public safety official in whose jurisdictions we
23 will be shipping. We've gone out with several draft policies
24 and procedures on how we plan to implement that. We now have
25 one that I think is reasonably well received by the external

1 community.

2 It provides for a planning grant roughly five years
3 before we ship to the states of a fixed amount, so they can
4 actually do their planning and determine what they need in
5 the way of technical assistance and funds, and then
6 individual grants with a base amount to support state level
7 staff, and a variable amount to pay for the actual costs of
8 training along the routes. So that would go out in a final
9 form after we have a site to ship to, and we can start
10 working directly with the potentially impacted states from a
11 transportation perspective.

12 One other one that I will mention, since we're out
13 in Idaho, the Dry Transfer System Topical Safety Analysis
14 Report went to NRC a number of years ago. This was a
15 cooperative agreement that the Department got into with the
16 Sacramento Municipal Utility District to develop a dry
17 transfer capability to allow them to move spent fuel from a
18 dry storage cask into a transport cask without a pool to do
19 the transfer.

20 They did a cold mock-up here in Idaho of this.
21 This was done with SMUD and with EPRI. I don't know whether
22 that will be on your site tour, but it may be, so I just
23 thought I'd mention that one.

24 I think I've covered most of this. As I said, we
25 issued a revised draft request for proposals in end of fiscal

1 year '98. This is for waste acceptance and transportation
2 services.

3 I could describe a little bit the structure of that
4 proposal. We probably do have enough time. The actual
5 proposal divides the country into four regions that
6 correspond to the NRC regions, and requests bidders to
7 provide us bids to actually take care of all the waste
8 acceptance and transportation services within each region.
9 And this was structured this way to put in place and almost
10 create a competitive market to give the Department--basically
11 trying to capture the values of a competitive marketplace
12 where you don't really have a major competitive market for
13 transportation of spent fuel.

14 The proposal is set up in three phases. The first
15 phase would be a fixed price where the proposers would have
16 two years to prepare a proposal. Then there's a five year
17 period for the acquisition of equipment.

18 During the planning phase, they would also work
19 with the utilities to come to agreement on which type of
20 equipment they would need, and to pin down a schedule within
21 the agreements and the contracts that the Department has with
22 the utilities. Then the actual operations would start in
23 2010. It would be done consistently with all of the
24 regulatory requirements to ensure that we did achieve safe
25 shipments.

1 Also, the Department has identified within the
2 proposal that we would continue to be responsible for the
3 interactions with state and tribal governments, and that we
4 would retain the final approval of routing decisions after
5 working with the states.

6 So we've tried to combine what we are hearing back
7 from the states and tribes in our external relations with
8 trying to set up a market-based acquisition to give the
9 government the advantages that come with that sort of an
10 approach.

11 I mentioned the Section 180(c) policy and
12 procedures. That was also issued in late '98. Both of these
13 documents are on the RW Home Page and on the website.

14 As I said previously, we will begin continue
15 working on those once we have a destination defined. And in
16 the meantime, we've limited our transportation activities to
17 the work being done on the Yucca Mountain EIS, which is run
18 out of the Yucca Mountain project office in Las Vegas.

19 Participation in DOE transportation policy
20 development and protocols basically fits within that area.
21 Transfer existing canister and cask information, that would
22 include the dry storage technology that I mentioned, also the
23 burnup credit work that was being done, we've basically
24 turned that over to the private sector for them to pursue
25 actual applications for burnup credit within their

1 transportation cask designs. And to the extent feasible,
2 continuing to work with external groups, as we can, with our
3 staff and limited resources.

4 The 2001 budget, the Department requested, or the
5 Administration requested 437 million, which had a sharp
6 increase in the Waste Acceptance, Storage, and Transportation
7 area. I'll get into more detail on that in a minute.
8 Otherwise, the highest priority work and the bulk of the
9 funds continue to be allocated to the site evaluations going
10 out in Nevada, preparation of the site recommendation and
11 considerations report, site recommendation and planning for
12 the license application.

13 The four areas in the Waste Acceptance, Storage and
14 Transportation project, which is one part of the Office of
15 Acceptance, Transportation and Integration, has three areas
16 in our work break-down structures. We have had no funds and
17 no work going on in spent fuel storage for several years.
18 Transportation, we've request 1.8 million to restart
19 planning, and what we would probably do in that area,
20 although there isn't agreement on it, would be to re-look at
21 the acquisition strategy in light of the experience at
22 Hanford with the vitrification plant cost overruns, or the
23 difference between the estimates and what they came in with,
24 and the pit mine experience here in Idaho.

25 I personally would like to re-look at some of the

1 institutional provisions, the way we've handled them. We
2 still get a lot of comments from the states and the external
3 groups in that area.

4 The other one is we have a lot of detailed planning
5 to re-look at and redo if the site is selected and we move
6 forward in the 2002 time period.

7 The 1.8 million is only there if we end up with
8 437.5, because as I said, our priorities continue to be
9 qualifying the site. So at this point, the House has given
10 us a mark of 413. The Senate hasn't acted on our request
11 yet, but I would anticipate that there will not be 1.8
12 million for us to restart some of these things.

13 I mentioned some of the DOE initiatives. One of
14 them, which sort of oversees the others, is the Senior
15 Executive Transportation Forum. There has for years been
16 various attempts by the lead transportation police makers
17 within the federal system, not the appointees, but the deputy
18 assistant secretary level within the Environmental Management
19 Group. Dwight participated in it. There were regular
20 meetings or ad hoc meetings to try to keep abreast of what
21 was going on in the transportation area. The Naval Reactor
22 folks participated.

23 Secretary Pena came on board as the Secretary of
24 the Department of Transportation prior to coming to DOE. He
25 wanted to formalize the relationship with DOT, and he had a

1 couple of phone calls from governors that made him unhappy
2 about the way transportation's operations had been conducted.
3 So he basically established this group formally.

4 The responsibilities of the group are to better
5 coordinate. This group does not have authorities that go
6 beyond what any of the representatives of the individual
7 programs do. It is, by charter, made up of the program
8 secretarial officers. Actually, the attendance and
9 participation tends to be the senior program managers who are
10 involved in transportation activities. This would be the
11 deputy assistant secretary level within other programs. It
12 was the office directors within the RW program.

13 The actual makeup of the committee and the
14 representation at the meetings are the parts of the
15 Department that are actually shipping, Defense Programs,
16 Naval Reactors. Environmental Management, who is actually
17 probably doing more shipping than anyone, they are doing the
18 shipments to WIPP. They do the foreign fuel shipments. They
19 do low-level waste shipments from all of their clean-up
20 activities at the various sites.

21 The Office of Science does some shipment of
22 isotopes. The Defense Programs does national security
23 shipments. The Naval Reactors Program does spent fuel
24 shipments that I think Don Doherty will talk to you about, or
25 maybe Ray will talk about it.

1 The other groups, our office, who's planning to
2 ship, and also because of the scope of the actual shipments
3 we will be doing and our long involvement with the states and
4 regional groups, we tend to attract a lot of attention, so we
5 are fairly key players in this because our policies do get
6 either criticized very heavily by various groups, or others
7 pay a lot of attention to what we're planning to do.

8 Materials Disposition is actually planning to do
9 some shipping with the uranium that's coming from overseas,
10 and plutonium. General Counsel is always there to help us
11 with what the law actually means. And because of the public
12 reaction to transportation, the Intergovernmental and Public
13 Affairs part of the Department are actively involved in the
14 council.

15 And DOT, as I mentioned, may participate. They've
16 come over for a couple meetings if there's something going on
17 where there's a feeling we need to have DOT senior officials
18 involved.

19 The initiatives that this group has been looking at
20 is the protocols, which are the main focus of what I'm going
21 to talk about today, if I don't run out of time. There is a
22 consolidated grant initiative that the Department has been
23 looking at. Just as RW has 180(c) that says to provide funds
24 and technical assistance to states and tribes, the WIPP
25 program and the Land Withdrawal Act provided for either

1 assistance in funds or actual training.

2 The other programs under their general authorities,
3 under the Atomic Energy Act, have done training along routes
4 and have worked with states and tribes to ensure that they're
5 comfortable with the shipments that come through, to ensure
6 that there's adequate emergency response training and
7 coordination.

8 While the consolidated grant was an idea that's
9 been kicked around for quite a while and it's finally getting
10 some--actually being raised up to a decision-making level
11 within the department, as to whether all these different
12 diverse programs can effectively integrate the grant process,
13 pool the funds, and get a better distribution of the
14 fundings, and we don't end up having different programs
15 training the same groups, and other groups that probably
16 would benefit from the training not being adequately
17 resourced to accomplish it.

18 Now, the transportation protocols, and I probably
19 should have explained a little bit what that is when I
20 started, it is basically a documentation of our procedures
21 and practices that the Department of Energy uses in shipping
22 radioactive materials.

23 There's long been a concern expressed by state
24 representatives and other groups that the Department does not
25 work the same way for the various materials that they ship, a

1 lack of understanding between the various parties. Any of us
2 who have gone out and talked to legislative bodies quickly
3 learn that a true shipment to WIPP and a spent fuel shipment
4 and a movement of contaminated soil, there isn't a real
5 distinction in the eyes of the people you're talking to. And
6 I personally find I've focused on RW for so long in spent
7 fuel, I don't know a lot of the key practices in some of
8 these various areas. So it's difficult for decision makers,
9 policy makers, and difficult for us in talking to them, you
10 end up with a lot of frustration, so this was partly being
11 done to address this, the document in one place, all the
12 different policies and practices that the Department of
13 Energy uses in its transportation of radioactive materials.

14 At the same time, the group is looking for areas
15 where we can standardize. We do have different field
16 offices. They all follow the regulations. They all ensure
17 that the shipments are being done safely. But they each may
18 do it a little bit differently. So we're trying to look for
19 standardization and for documentation of how the Department
20 will go along in its shipping and transportation of
21 radioactive materials.

22 What we did was we reviewed all of the current
23 practices and documented the regulations, how we each will
24 approach them. As I said, we will strive for uniformity in
25 approach. And we are trying to develop this cooperatively

1 with external parties who are interested in transportation,
2 and I'll talk a little bit about the transportation and
3 external coordination working group later. But that has been
4 the body that the Department has been working with for the
5 last ten years with representatives of regional and national
6 groups to help get policy input on transportation.

7 As I mentioned, we went through and we reviewed our
8 current practices that are used by the different programs to
9 identify the baseline, where are we now. We are sort of a
10 unique agency from the standpoint that different programs
11 have different requirements.

12 RW probably stands out from a lot of the rest. We
13 have specific statutory language that requires us to use NRC
14 certified packages for any shipments to a repository or
15 monitored retrieval storage facility. We're required to
16 follow the NRC guidelines for pre-notification of states and
17 tribes with regard to our shipments. We also have a
18 requirement to use the private sector to the maximum extent
19 possible in doing our transportation.

20 The other parts of DOE are not bound to use NRC
21 certified containers. A number of them do in order to have
22 an independent body review, because of the public concerns
23 with regard to the adequacy of the packaging. But under the
24 Atomic Energy Act, DOE has authority to certify shipping
25 packages.

1 DOT regulations, I believe we are bound to use
2 those. Certainly in our case, in RW, we have made it a
3 policy that we will ship as the licensee. So we are not only
4 committed to the pre-notification, we are also committed to
5 follow all of the NRC safeguards requirements and
6 transportation-related requirements, which include DOT. If
7 you're going to ship under NRC regulations, you abide by the
8 DOT also.

9 There also are differences because of the material
10 types. Low level waste doesn't have the strict routing
11 requirements for the highway route control quantities of
12 radioactive materials, which spent fuel must follow.

13 WIPP has identified routes. WIPP has put together
14 an extensive set of protocols. The WIPP program
15 implementation guide, or what is referred to as the WIPP-PIG,
16 which was jointly developed by the WIPP program and the
17 Environmental Management Group, and the--I think a group put
18 together by the Western Governors' Association, they address
19 a number of the areas that our broader DOT protocols are
20 going to address.

21 And lastly, we do include within the DOE family,
22 national defense and national security shipments, these
23 involving weapons, and the Navy shipments of spent fuel fall
24 under the national security provisions. And that will affect
25 protocols.

1 The areas that the protocols will address include
2 shipment pre-notification. In this case, the RW requirements
3 are pretty explicitly laid out under the NRC regulations.
4 DOE has different requirements. They're generally similar,
5 but they're a little bit different, which we've tried to
6 actually standardize in this area so we look more alike as
7 the NRC requirements.

8 Shipment planning information. What information
9 will we make available to states and tribes and parties, and
10 at what time before shipping. Routine protocols, emergency
11 notification, emergency response, operational contingency,
12 which would include safe havens, what you do in case there is
13 a delay in transport. Or excuse me, operational
14 contingencies is probably not safe havens. Driver
15 requirements, which flow down from the Department of
16 Transportation, hazardous material regulations.

17 Tracking. The WIPP program, the Waste Isolation
18 Pilot Plan, has used TransCom, which is a system developed by
19 DOE. I think it's now run out of Oak Ridge. We have
20 committed to using that system within our RFP, our
21 acquisition strategy. Inspections, recovery and clean-up.
22 Anyway, there are 14 specific areas that will be covered by
23 the protocols.

24 I mentioned the transportation external
25 coordination working group, which are the stakeholders that

1 we are working with, or providing early drafts of protocols
2 and working with on the review. This is an organization made
3 up of national and regional groups representing states,
4 tribes, local governments, industry. A number of the
5 speakers today actually attend the TEC working group meetings
6 on a regular basis. It is jointly chaired by Environmental
7 Management and Radioactive Waste. I have had the dubious
8 honor of being a co-chair for a number of years.

9 A lot of the emphasis has been on the emergency
10 response area and training. We have the Conference of
11 Radiation Control Program Directors are a member, the
12 emergency nurses, they've done a lot of work on trying to
13 define what the appropriate level of training will be for
14 emergencies involving radioactive waste shipments.

15 The rail people, Bob Fronczak is going to speak
16 later today, attends the meetings regularly. The Naval
17 Reactors attend. Although they are not members, the
18 Department of Transportation usually is represented by the
19 Federal Rail Administration, the Highway Safety people and
20 the Research and Special Programs Administration, and as you
21 can see, a host of others representing various interests who
22 will in one way or another be involved in our shipments. The
23 nuclear industry, through NEI usually attends at the
24 meetings, and utility people will attend.

25 I was going to mention generally the TEC as a body

1 meets twice a year with representatives from those groups.
2 DOE has cooperative agreements with most of those groups so
3 that we can provide them funds so they can attend the
4 meetings. They generally work by smaller groups, or working
5 groups, break-out sessions, and they've addressed such topics
6 as rail safety, training in general. Medical training is
7 actually a separate activity. They've done work on routing,
8 recommendations with regard to how the Department should
9 approach routing. And right now, they are doing a lot of
10 work in protocol areas.

11 14 have been released to this subset of the TEC
12 working group. They've provided comments. The writing group
13 within the Department who's developing the protocols have
14 been reacting to these comments and trying to see how we can
15 accommodate them, where we feel we can.

16 One protocol is still under development, and
17 actually I think that one is being incorporated into two
18 other protocols. So those two bullets basically are
19 identifying the same one. This has been a communication
20 protocol, and I think we're looking at it more being
21 incorporated into the pre-notification and letting people
22 know what's coming up, and in operational contingencies, or
23 emergency response area where it will talk about the
24 communication activities that need to take place.

25 All of them have been completed in a preliminary

1 draft form. The goal was to get them done by June. The
2 writing group, which two of the members are actually here
3 today, have been working long hours. This has been a pretty
4 monumental undertaking by the Department. I think I was
5 actually surprised when they took it on and how well they've
6 been able to do with it. The goal is to complete the review
7 by the end of the summer, and to begin implementation by the
8 end of the calendar year.

9 The one area that we have to identify as a
10 Department, or deal with now, is what do we do with this
11 fairly healthy document describing all these policies and
12 procedures at the end, and their consideration anything from
13 guidelines on up to rulemaking. It looks like we'll be
14 somewhere in the middle, probably in the DOE order type
15 range, which is binding on the programs, but has a chance of
16 being implemented in a reasonable time frame.

17 And basically this is just a short summary of what
18 the protocol initiative is and why we think it's a good idea.

19 That's it, sir.

20 ARENDR: Okay, thank you very much. Questions from the
21 Panel members? Dan?

22 BULLEN: Bullen, Board. You shows us your budget and
23 mentioned that if you didn't get the requested amount, the
24 1.8 million for restart would essentially not be there this
25 year. If you don't get the funding, will you have the

1 capability to implement a transportation system in a timely
2 enough manner to meet the 2010 transportation time? And what
3 will the problems be?

4 CARLSON: Yes, we would. I mean, it is ten years off,
5 albeit 2001 budget gets us closer. I think I'll be able to
6 get something to get started on, some of those areas where I
7 felt we needed to do additional work. I personally see more
8 problems in staffing up, because it's a relatively
9 specialized area, the retirements, I'm not going to be around
10 that much longer. As I said, I've got more than 30 years now
11 and I'm old enough, and it's not fun a lot of the time.

12 I think that the total time period gives us enough.
13 I mean, the whole program schedule is tied to resources. So
14 I don't think it will be a problem getting it done. It would
15 be nice to have more time to approach it in a more
16 disciplined manner.

17 BULLEN: Bullen, Board. Just a little followup
18 question. If legislation passes and there's transportation
19 to an interim storage facility at Yucca Mountain earlier than
20 2010, does that pose a more significant problem, or a bigger
21 challenge?

22 CARLSON: A much bigger challenger. I mean, we
23 originally did our planning with one year for the preparation
24 of the planning on the proposals and four years for the
25 acquisition of equipment. So we have plans that have

1 compressed it down to five years. Comments we've received
2 back from potential interested parties have said that would
3 be a very challenging schedule.

4 Now, the actual cask fabrication and acquisition,
5 the ramp-up in the shipping starts out with 400 a year. If
6 you have a rail cask that can handle close to ten tons, and
7 you can move it, you know, six times a year, you can move 60
8 tons per cask, so you aren't talking a huge fleet on the
9 ramp-up. So it's not as foreboding as a lot of people
10 portray it, but there's an awful lot of work with states and
11 routes and training, and just going out, the public education
12 process, which I don't even show on here, but I personally
13 think is going to be a major initiative that we're going to
14 have to do along the routes to let the people know what it
15 is, let them know why we feel it is safe and can be moved
16 safely. So it would be very challenging, a very daunting
17 challenge, but I think it's doable, and that's why I'll
18 retire.

19 ARENDT: Other questions from the Panel members? Norm?

20 CHRISTENSEN: Christensen, Board. Probably one of the
21 things that makes your position perhaps not as much fun, but
22 I'm just curious about the--you mentioned the dialogue with
23 the states and tribes. Does that primarily happen in the
24 context of the external--

25 CARLSON: The TEC working group?

1 CHRISTENSEN: Yeah.

2 CARLSON: Yes and no. Since mid-1980, in fact, shortly
3 after the program started, actually the Waste Act that we
4 work under was designed by and large by the National
5 Governors' Association. So there had been interactions going
6 on prior to the passage of the Waste Act with the Governors'
7 groups. I mean, spent fuel, nuclear waste, is a very
8 politically sensitive issue, as you all well know, or you
9 wouldn't be here. So there's been an interest. The
10 governors have been involved.

11 Shortly after it passed, our office set up a number
12 of regional groups, because we didn't feel, without knowing
13 exactly where we're shipping, that we would benefit from
14 working with each state independently. So we ended up
15 looking, the Western Governors' Association already had
16 grants and was working with WIPP. We actually went to the
17 Western Interstate Energy Board, which was more of a
18 technical and less a policy oriented group. Southern States
19 Energy Board, Midwest Council of State Governments, we set up
20 cooperative agreements with each of these groups in the mid
21 Eighties.

22 We later added the Northeast group of the Council
23 of State Governments. And we fund them to provide
24 information on the program. Now, since our budget has gone
25 down and EM has been more active in transportation, they've

1 continued to fund these groups. We still have liaison with
2 them, and that's where I said we try to participate in the
3 meetings to the extent we can.

4 They provide staff who maintain an awareness of our
5 program, and provides two volunteer members of the various
6 states who are on the boards. Generally, there will be
7 elected officials. Radiation program directors tend to be
8 very involved in the activities of the regional groups
9 because they're the ones who are most directly impacted in
10 the training and the safe shipment.

11 So we have direct contacts with the states through
12 that forum, and those groups are also represented on the TEC
13 and we pay them to have their representative, and usually
14 it's their chair will attend the TEC meetings.

15 In the tribal area, we work with the National
16 Conference of American Indians, who we have had a grant with
17 for--or a cooperative agreement for an equal amount of time,
18 where we count on time to disseminate information about the
19 program. They've set up a high level waste tribal council
20 that includes governors, tribal chiefs and senior tribal
21 members from a number of the tribes. Generally, they tend to
22 be the tribes that are around the DOE sites where they're
23 more familiar with the operations and what we're dealing
24 with.

25 We've been trying to come up with ways to get

1 broader expanse, because transportation is national rather
2 than that localized. But we do have other ways and we're
3 dealing with them. The TEC provides the more central places
4 where they all come together.

5 ARENDT: Other questions?

6 CHRISTENSEN: Let me ask one more, John, and this really
7 relates to something that I think in our last meeting a
8 couple years ago, came up in a discussion, and you mentioned
9 it somewhat briefly, having to do with the competitive
10 private sector initiative, and the status of that. At the
11 time, that was sort of--this was a couple years ago I think
12 when the Panel met. Can you say a little bit more about
13 where that is at this moment?

14 CARLSON: At this moment, it's on the shelf, is probably
15 the best way to describe it. First, we issued a statement of
16 work. Then we issued a draft RFP. Then we issued a revised
17 draft RFP, and that was the one that was issued at the end of
18 fiscal '98.

19 That is still the approach that we plan to use to
20 acquire our Waste Acceptance and Transportation Services. As
21 I mentioned, I think we need to re-look at it, because of
22 what happened with the vitrification activity in Hanford, the
23 significant cost increases, to make sure that basically we
24 learn from the lessons, if there are obvious lessons to learn
25 there.

1 It still has some provisions in it, actually in the
2 funding area, where I believe it probably puts too much of
3 the risk with the bidders on this one rather than the
4 government assuming it, because of the, I'll call them
5 political uncertainties, or institutional uncertainties,
6 associated with starting up this transportation program.
7 There's a lot of uncertainty with regard to whether we can
8 meet the schedules. And to ask the private sector to assume
9 that risk would lead to exorbitant costs. So we've got to
10 find a way to balance it so there's enough to get a good deal
11 for the government, so there is competition and we don't end
12 up buying a lot of stuff we don't need, but not so much to
13 where the price will just make it look like what happened at
14 Hanford.

15 CHRISTENSEN: This is an area, though, where that risk
16 issue will be important because public confidence will be so
17 critical as well. Aren't you balancing that?

18 CARLSON: Yeah, I'm not sure how you get around it, to
19 be honest with you. It's going to be a challenge, and the
20 individual on the staff who is the lead on that is one of the
21 folks who retired, which makes it an even bigger challenge.

22 If any of you would like to take on that challenge?

23 ARENDT: Any other questions? Richard?

24 PARIZEK: Yes, Parizek, Board. How does the shipment of
25 fuel to nuclear power plants different from a least spent

1 fuel shipment out to some repository site? Or is there
2 transferrable information from years of the one experience?

3 CARLSON: The big difference is the fresh fuel is not
4 particularly radioactive, so you don't have the requirement
5 for a great deal of shielding. It does have similar
6 criticality problems, but the packaging is significantly
7 different, and the radiation hazard is not there for the
8 fresh fuel going out to the plants.

9 PARIZEK: But all of the transportation routes--

10 CARLSON: No, they don't require--I mean, the routing
11 for spent fuel, which is classified as Highway Route Control
12 Quantities, is under DOT regulations, follows interstates or
13 bypasses or alternative routes designated by the state.
14 Since there isn't the radiation in the fresh fuel, it's not
15 subject to those requirements.

16 ARENDR: Dan?

17 BULLEN: Bullen, Board. Just a little followup on the
18 waste acceptance criteria. If burnup credit is going to be
19 taken for transportation as well as for disposal,
20 particularly for the closed containers that are already in
21 dry storage, and the NRC looks like they want to have some
22 sort of measurement from each of the assemblies, who is
23 responsible for the documentation and the obtaining of that
24 information? Is it going to be done at the plant? Will the
25 responsibility be done by the shipper, because he has to have

1 burnup credit to take the shipment? Or will it be DOE at the
2 site?

3 CARLSON: For disposal, if you didn't have good records-
4 -this is going to be a complicated answer because I'm not
5 that sure on it--but right now, I would expect we'll have to
6 repackage. The storage containers are significantly larger
7 than what we're looking at in waste packages. So repackaging
8 at the site, you'd probably do burnup measurements there.

9 If you needed to do them for storage at a reactor
10 site, that would certainly be the utility's responsibility.
11 The actual loading of transportation casks under the division
12 of responsibility defined in the standard contract is with
13 the utility. So if there was a requirement to do some
14 measurement, it would probably be on their nickel. And
15 basically, they want to be responsible inside their gate.
16 They don't want to have another entity coming in and doing
17 something that's liable to mess up their operation.

18 ARENDR: Paul, did you have a question?

19 CRAIG: Yeah, Craig, Board. As the fuel remains in
20 these dry casks for long periods of them, and we now have
21 some that is in dry casks, you mentioned SMUD which has such
22 a facility, there may be deterioration within those casks,
23 and as the reactors are shut down and the commercial firms
24 lose the capability, the technical capabilities, SMUD is an
25 example, has almost none at this point, who is going to bear

1 the responsibility of looking at possible deterioration and
2 handling the transfer of possibly damaged material?

3 CARLSON: Is this prior to transport are you talking
4 about, or after it gets to the repository?

5 CRAIG: Well, I'm thinking specifically, since you
6 mentioned SMUD, there is a dry storage facility, and it's
7 possible there will be deterioration of the material inside
8 those casks. Somebody is going to have to take those casks,
9 decide whether they can be transported, possibly do a
10 transfer. Where does the responsibility lie and where does
11 the technical capability exist for doing that analysis and
12 for handling the transfer, should it be necessary? Is that
13 DOE or SMUD?

14 CARLSON: Well, right now, the canisters that they're
15 putting them in are certified for transport. If they're
16 certified for transport and we can take them, we will. If
17 there's a problem, then it will probably be the lawyers who
18 decide where it sits. I haven't heard that addressed, to be
19 honest with you, because I think the expectation is if it's
20 NRC certified for safe transport, we will provide the
21 transport casks to take it. If it requires being, because of
22 a problem with deterioration, I really don't know. I mean,
23 my gut reaction would be the utilities, but I wouldn't want
24 to be particularly quoted on that. I'm sure they'll help us
25 make the decision.

1 ARENDT: I think we'll have to end this. Thank you very
2 much, Jim.

3 CARLSON: Okay. I will be around all day, all night
4 actually, so if there's more, and if anybody wants to help
5 you with the procurement.

6 ARENDT: And, Paul, John Kessler I think can help
7 respond to your questions. Maybe catch him during a break,
8 or something.

9 Thank you very much, Jim.

10 Our next speaker is Robert Lewis from the Spent
11 Fuel Project Office, the Office of Nuclear Material Safety
12 and Safeguards from the NRC. His subject is Modal Study
13 Update.

14 LEWIS: Well, good morning. I'd like to thank the Board
15 for the opportunity to make this presentation. It's very
16 timely in terms of some significant progress we've made in
17 two risk studies that we're performing.

18 I'm Robert Lewis, and as Mr. Arendt said, I work
19 for the Spent Fuel Project Office. We're the entity at NRC
20 that has the responsibility for storage, dry storage and wet
21 storage, if it's away from a reactor, of spent fuel prior to
22 disposal. We also have the responsibility for transportation
23 of all radioactive materials, and we're the lead agency for
24 both of those matters.

25 I'm a nuclear engineer and criticality specialist

1 by training. But currently, I'm a project manager for
2 package performance study, which will look at the risk of
3 spent fuel transportation, and I'll get into that in a lot
4 more detail in a moment. But our role for spent fuel
5 transportation at NRC is clearly specified in the Atomic
6 Energy Act. We certify casks. We look at Quality assurance
7 programs for the manufacture and use of those casks. We do
8 inspections, as well as approve the programs themselves. We
9 evaluate physical protection as part of our security
10 function.

11 However, with respect to shipments to Yucca
12 Mountain of DOE owned material, our role is very clearly
13 specified in the Nuclear Waste Policy Act, that DOE will use
14 certified NRC casks, and DOE will abide by our advance
15 notification procedures, which are part of our physical
16 protection requirements in 10 CFR, Part 73.

17 I don't have a specific slide about our role, but I
18 do have slides on the rest of these topics. I want to
19 briefly talk about the cask performance standards. Everybody
20 is probably familiar with them, but I just want to make a
21 couple points about those. I want to talk about
22 transportation studies we've done and are doing, and I want
23 to talk specifically about one that we're doing, the package
24 performance study, and just introduce it, talk about where we
25 want to go with it, and what we believe it can do for us.

1 I believe the slides are in random order, so the
2 talk will also be in random order. In terms of the cask
3 performance standards that we have, these are set out in our
4 regulations. Everybody has heard of these. The points I
5 wanted to make about these, though, is that all the risk
6 studies we've done have used these as the starting point, and
7 the package performance study, the one that we're just
8 starting, will also use these as a starting point.

9 We're not questioning the validity of continued use
10 of these standards. We believe they've been historically
11 developed and they've served their function very well. Over
12 the last 30 years, there's been 1,300 spent fuel shipments in
13 NRC certified casks.

14 The other point I wanted to make was that in terms
15 of spent fuel, the way that these are reviewed is done
16 usually by analysis only. There could be some testing done
17 of the impact collimator. We reserved the right to require
18 testing if it's necessary, but we haven't found it to be
19 necessary for spent fuel casks. The analyses that have been
20 done and the conservatisms that have been built into the
21 analysis and the applicant's views, has been adequate.

22 Smaller packages are usually tested, like
23 radiography cameras. Those are usually tested rather than
24 done by analysis, just because--primarily I guess because of
25 the costs involved. So, once again, we're not in any of the

1 risk studies I'm talking about, we're not trying to challenge
2 or change any of these requirements.

3 We have, in terms of transportation risk studies,
4 we've completed four major studies in the last 25 or so
5 years. The first study is the most significant, and that
6 serves as the basis for all future studies, and the basis, in
7 fact, for all future environmental impact statements, such as
8 the environmental impact statement that was done for Yucca
9 Mountain and also for the private fuel storage facility were
10 primarily based upon the methodology that was initiated in
11 NUREG-0170. I have a slide on each of these studies, by the
12 way.

13 An important thing to note is that NUREG-0170 not
14 only looked at spent fuel, but looked at all transportation
15 of all radioactive materials, and the rest of the studies
16 only look at spent fuel.

17 In 1982, based upon NUREG-0170, the Commission,
18 meaning the five commissioners, made a finding that the
19 current regulations were adequate to provide for public
20 health and safety protection, but that prudence would dictate
21 continuing and ongoing close review as new tools become
22 available, and the rest of the study is what we've been doing
23 ever since, reconfirming the 0170 study.

24 0170, 1977, that was the first comprehensive look
25 at radioactive materials transportation. It's used by both

1 NRC and the DOT as the environmental statement that's the
2 basis behind the regulations that we have. Spent fuel was
3 only one of 25 materials that were studied. Some of the
4 important assumptions that occurred back then were a
5 reprocessing economy was anticipated, so we were shipping 90
6 day cooled fuel, much more hazardous in terms of its
7 radioactivity, as compared to the fuel that has been stored.

8 There's a very simple accident release used,
9 because the tools weren't available to do finite element
10 analysis and try to calculate using computers or a prediction
11 of what could be released in an accident. So they used a
12 very simple engineering judgment approach.

13 Another important assumption was that they
14 estimated a total of about 2,000 shipments a year. 1,500 or
15 so were rail, and that was the estimate predicting forward to
16 1985. Based upon those estimates, they got those person-rem
17 doses, 565 person-rem, 298 person-rem.

18 One thing to note is that those are risks that were
19 found to be acceptable in 1982 by the Commission, but those
20 are risks that were never realized because the shipments
21 didn't happen.

22 In the 1980s when the West Valley facility closed
23 down, there were several shipments of spent fuel being
24 returned to the nuclear power plants, and questions came up,
25 I mentioned the accident release models that were used in

1 NUREG-0170, questions came up about those. And in response,
2 we sponsored the Modal Study, which was performed at Lawrence
3 Livermore Labs.

4 The goal there was to do computer analysis of spent
5 fuel casks response, and the methodology they used was to
6 look at the streams that were created by impacts in thermal
7 forces on the cask wall, interior of the cask wall. It did
8 not attempt to model the lid region. The goal, of course, is
9 to relate a cask that is minimally acceptable under Part 71
10 to the forces that could be created in real transportation
11 accidents, based upon data that existed on the probabilities
12 of those accidents.

13 There's a lot of engineering analysis involved in
14 translating an accident to the forces that are created in
15 that accident, and that's all explained in the Modal Study
16 how they did that.

17 Another thing that it did was it took some sample
18 cases, like very severe historical accidents, Livingston
19 Training fire, the Caldecott Tunnel fire, and postulated what
20 would have happened had a spent fuel cask been in those
21 accidents. And the results there were very favorable, and
22 those case studies turned out to be very useful, we believe.

23 The answer was that the risks that they predicted
24 in 1987 using the better analysis tool were approximately a
25 factor of three lower than the risks that were predicted in

1 NUREG-0170, but once again were never realized. Therefore,
2 it confirmed the adequacy of the environmental statement.

3 The Modal Study is summarized in this blue brochure
4 that NRC hands out quite often. I didn't bring any copies
5 today, but if you want one, just let me know and I can mail
6 you one of those.

7 About 1996, there was a lot of talk about multi-
8 purpose casks and dual purpose casks and increasing the
9 payload and so on, and NRC sat down and said, well, what
10 should we do? Do the original assumptions in 0170 and the
11 Modal Study still hold for those new types of containers and
12 new types of shipment? Remember, 0170 was the reprocessing
13 economy and now we're shipping older fuel, and we're shipping
14 it across the country instead of to repository sites,
15 shipping across the country.

16 ARENDR: If you all have the agenda before you, Robert
17 Holden, who was going to speak at 11:10, was unable to get
18 here. So we will not hear from him this morning, so what
19 we're going to do is we're going to continue the program and
20 see how far we get. We'll maybe allow a little more time for
21 questions and take that time. So we're going to play that by
22 ear.

23 You can continue, Robert.

24 LEWIS: That was a good place to break, actually,
25 because we finished up talking about the past studies, and

1 now I'm talking about what's going on right now.

2 There's two studies going on right now. There's
3 one called the reexamination of spent nuclear fuel estimates.
4 The next slide is the other, it's the package performance
5 study.

6 Like I said, in 1996, there was new technology,
7 cask technologies, meaning dual purpose casks coming in for
8 review, beginning to come in for review. There were
9 different assumptions regarding the fuel, and there was a
10 potential for a near term large shipping campaign. So we
11 started these two studies in--started conceiving them in
12 1996. This one actually started in late '96 or early '97,
13 and the package performance study started last year.

14 The goal of the reexamination of risk estimates was
15 to assess the risk of shipping spent fuel only to either
16 storage sites or a repository using currently available means
17 by analysis only, computer analysis only.

18 We used RADTRAN 5 code to do this. It's a generic
19 study, in that it looked at the routes over the whole
20 country. It looked at incident-free risk as well as accident
21 risk. And its conclusions were that the risks using the new
22 assumptions and new techniques, they showed that the risk was
23 in the Modal Study in 0170 was conservatively calculated.
24 So, once again, this study is validating 0170 by showing that
25 using the newer abilities we have, the risk is actually

1 smaller than we originally predicted.

2 The report itself is--I only brought one copy, to
3 save on my baggage--but it's also published on CD. The CD
4 happens to have Volume II, which is a lot of the explanatory
5 material of how the calculations were actually done. There
6 is no Volume II in hard copy because it has color figures in
7 it and it would have been cost prohibitive to produce a NUREG
8 report in color.

9 A plain English compliment to this technical report
10 is in development, and that will be about a 30 page document
11 fashioned after the plain English version of the Modal Study.
12 That was recently mailed in draft to the mailing list for
13 the package performance study, which I'll get to in a moment,
14 but it's about 300 people. Anybody that's ever shown an
15 interest in these new projects that we're doing, we mail the
16 hard copy to them, and it was Attachment 2 to that hard copy
17 to that mailing.

18 Package Performance Study has been called Modal
19 Study 2, and it's probably not really appropriate. I'm the
20 guilty party for that. But we're not redoing the Modal
21 Study. We still believe in what the Modal Study results were
22 and the methodology. In fact, we're trying to build upon the
23 Modal Study results as well as build upon the 2000
24 reexamination study results to further the knowledge of the
25 adequacy of our regulatory approach.

1 The Package Performance Study will only look at
2 spent fuel. It will look at both truck and rail packages.
3 It will assess severe accidents. So this is how it got the
4 name Modal Study 2, because we're not looking at incident-
5 free transportation anymore, but we are looking at severe
6 accident risks, how the cask performs in those severe
7 accidents, as well as how the fuel performs in those severe
8 accidents, because the assumptions in that area are two of
9 the harder parts of doing the Modal Study and the 2000
10 reexamination study. So we want to make sure that we have
11 done all we can to understand that phenomenon.

12 One thing that's different about Package
13 Performance Study is it will consider the need for physical
14 testing. All the previous risk studies have only looked at
15 analysis. No testing has been done to support them. We
16 haven't decided the nature of the testing. I think we know
17 what our goals would be in doing the testing. It's not just
18 a demonstration. I'll get to that in a moment. But we
19 haven't decided if full scale testing or scale testing would
20 be necessary to support the goals.

21 And one unique thing about--well, not unique
22 anymore--but one thing about Package Performance Study that
23 hasn't been used in previous transportation risk studies is
24 using this enhanced public participatory approach, not only
25 in trying to get peer review of the results of the study, but

1 in trying to define what should be done in the study itself.

2 So we've had meetings.

3 Actually, the next slide I'll talk about the public
4 interactions we've had in two more slides, but just keep in
5 mind until then that we are using this enhanced approach,
6 which is--a lot of agency efforts are doing this. This is
7 the first time we've tried to use it in transportation.

8 Why are we doing this? Well, I came up with these
9 reasons. Risk insights, we have better modeling tools
10 available to us. We have the potential funding to do a test
11 if we need to. So we believe that if we fashion that
12 modeling and testing appropriately, we can get some risk
13 insights to focus our cask reviewers on the important aspects
14 of cask design, and also to focus our risk studies on the
15 important aspects of cask design, future, any future risk
16 studies we might do.

17 Once again, this all started because of the dual
18 purpose casks that we now have. Several have been approved.
19 We know the designs now. Timing-wise, some of the designs
20 that are being approved now are predicted to be used for
21 Yucca Mountain. That's a situation that hasn't existed in
22 the past really. There's potential, of course, for a large
23 shipping campaign, whether it be to Yucca Mountain, if it's
24 licensed, or whether it be to the private fuel storage
25 facility, or some other interim storage.

1 Age of data of the previous efforts is an important
2 factor that started all this. Some of the accident rate
3 information, some of the accident sequence information that's
4 in the Modal Study was outdated, especially for rail.
5 Outdated doesn't mean it's necessarily bad, but we want to
6 confirm that it's still useful. We have the ability to work
7 with Federal Railroad Administration in the transportation
8 study to get some of that better data. So we're going to
9 take advantage of that opportunity.

10 Consistency with NRC performance goals and
11 Commission direction. There's a real recent effort in the
12 Commission to develop a strategic plan with performance
13 goals. These are the four performance goals that are trying
14 to be applied to everything the Commission does these days.
15 This study happens to fit well with all these goals, probably
16 as well as any other activity we're doing right now.

17 Maintain safety. Of course we want to make sure the
18 assumptions we have in our risk assessments are appropriate.
19 Increase public confidence. We can do that by helping the
20 public design the study and helping solve some of the
21 questions they may have about spent fuel transportation.
22 Reduce unnecessary regulatory burden. The key word here is
23 unnecessary, because as our former chairman used to say, all
24 regulations have a burden. But we want to reduce the
25 unnecessary burdens and maintain the safety at the same time.

1 Burnup credit might be an example in that area,
2 allowing burnup credit. We previously, for criticality
3 analysis, have assumed fresh fuel, optimum moderation. Those
4 are conditions which physically don't exist in any
5 transportation accident. Maybe we can do something there,
6 and that's been an ongoing effort actually way before these
7 performance goals were developed.

8 Make our decisions more effective, efficient and
9 realistic. That's kind of the catch-all, but it's supported
10 by the other three.

11 As far as what we're doing to increase public
12 confidence in spent fuel, in our regulatory approach, and in
13 spent fuel safety in general, in the Package Performance
14 Study, you can't see this address, but it's on the handout,
15 we have established an interactive website. We have
16 opportunity there, a forum to provide questions on the
17 products we develop, and upon just general questions that
18 might be incorporated into our testing plans or analysis
19 plans. It's been relatively successful actually. There's
20 been a lot of people submitted comments on the website
21 maintained by Sandia National Lab.

22 We went out, when we first started this study, we
23 went out and said we want to do a scoping study. Industry,
24 the public, the affected governments, state organizations,
25 for example, tell us what your concerns are about spent fuel,

1 and we'll try to wrap those concerns into our scoping study
2 and propose options to resolve them. We've done that. We
3 have just finished that in June, and mailed it out along with
4 the summary document, the public document on the
5 reexamination study both went out under the same cover
6 letter. And we're going to go back out August 15th in Las
7 Vegas at the Tropicana Hotel, and August 16th at the Mountain
8 View Casino and Bowl in Pahrump.

9 We are presenting the findings of the scoping
10 report, asking if we really have effectively understood the
11 public concerns, incorporated them into the options that
12 could lead us forward, and any other general issues that may
13 not have been covered could also be addressed, such as the
14 reexamination report didn't get any public comment period,
15 but we are sending the summary out. And at these meetings,
16 we'll be ready to talk about that as well.

17 Follow-on workshop in Rockville, Maryland to get
18 the D.C. government types; Las Vegas workshop to get the
19 state governments out there and county governments out there,
20 trying to capture as broad a perspective as we can on where
21 to go from here.

22 We are maintaining a mailing list of interested
23 people. Like I said, this is 360-some names at this point.
24 We mailed this scoping report results and the summary report
25 on the reexamination to the entire mailing list just last

1 week. So if you haven't got it, a lot of people in this room
2 will probably have it in their mailbox when they get back.

3 Where we are today. We have a contract with Sandia
4 Labs to do this study. We picked Sandia because of the
5 testing facilities that they had, should we choose to do a
6 test. We're leading down the path that testing is
7 inevitable, some form of testing will be useful. So staying
8 with Sandia is good in that respect.

9 The scoping study was to collect public views, to
10 perform literature search, and to produce options and
11 recommendations for follow-on research. As I said, that was
12 just mailed in June, and we're having meetings in August, and
13 if you don't have the opportunity to attend those meetings,
14 we are also accepting comments on the website from those
15 studies, and also you could just mail it to NRC as well.

16 I'll talk a little bit about the results of the
17 issues report. And this is the last slide I have. The
18 issues report had four areas that said this is the best
19 places that Sandia believes could further the reexamination
20 study results, further the Modal Study results, and those
21 four areas are to verify cask modeling through analysis and
22 impact and/or fire tests. Now, the nature of NUREG-6672,
23 this reexamination study that was just done by analysis, it
24 had 40, maybe 41 different accident environments that each
25 cask had to be evaluated for. Because of computer time,

1 those evaluations required less than fully detailed finite
2 element mesh in each environment.

3 The goal here would be to verify the use of that
4 conceptual model by doing a very detailed finite element
5 calculation for a particular cask, comparing that detailed
6 evaluation to the generic casks, and the less detailed finite
7 element mesh that's used on those generic casks from the
8 reexamination, provide that verification. And I'd go a step
9 further and provide verification by doing a test, and the
10 goal being there that if we can predict, using this
11 conceptual model, cask response for one of these
12 environments, there's no reason to believe the rest of the
13 environments aren't also adequately represented.

14 Another important area that the issues report
15 believes we should look at is fuel assembly response to
16 impacts. This is always an area of much engineering
17 judgment. There is a facility in Germany which has the
18 ability to do impact tests on simulated fuel and determine
19 the amount of respirable particle size, for example, that's
20 created from certain impacts. We could on a bench scale at
21 Sandia compare that simulated fuel to a real fuel, real spent
22 fuel, that is representative and then that's where we would
23 get into the issues of fuel aging, and any fuel we'd want to
24 use would certainly have to be representative.

25 So that's the area there, is to further look at the

1 ability to predict the fuel, because in accident risk, of
2 course, there is no risk from the radiation unless there's a
3 leak, and there's no leak unless the cask fails, and then
4 there's no leak also unless the fuel fails. And you can
5 assume that any accident that would fail a cask would also
6 fail a significant fraction of the fuel assemblies, but the
7 big question is how much of that fraction is respirable and
8 how much of that fraction can not only be released into the
9 cask, but released through the small hole that might be made
10 into the environment and available for uptake by someone.

11 We would like to reconstruct the event trees that
12 were used in the Modal Study. This is the issue I previously
13 spoke about. There is newer data of accident rates, accident
14 types. We received several comments on this during the last
15 series of public meetings last year that, for example,
16 railcars now are built to vent and when they burn, they burn
17 for several days, and that's a relatively new phenomena, so
18 that accident scenario might not be represented in your older
19 event tree. And we can reconstruct that using newer data
20 that is available, particularly for the rail, but also we
21 would like to look at the highway data that's available.

22 And, of course, I already mentioned that some type
23 of testing would support, in our opinion, would support the
24 conclusions of NUREG 6672 and through the chain back all the
25 way to NUREG 0170. Testing would seem to, when we look at

1 NRC performance goals, testing would seem to have a big
2 effect on public confidence if it's done right. We don't
3 want to do any test that is just a demonstration, just a
4 dramatic show of what the cask could do. We don't want to
5 run a train into it and bounce it down the rails like I think
6 they did in England. We don't see any need to repeat that.

7 But if testing could support the conceptual models
8 that were used in 6672, we think it would be useful. And
9 with that, I'll take any questions people have.

10 ARENDR: Question from the Panel? Dan?

11 BULLEN: Bullen, Board. You mentioned the testing at
12 the end here, and the full-scale finite element evaluation,
13 and then maybe possibly a test to verify that, and then not
14 have to repeat the testing, but to do the finite element
15 evaluation of all the other damage analysis studies that
16 you'd done previously.

17 I guess the question I have is you mentioned
18 Germany for the fuel impact. Are you also collaborating with
19 the international community who have tested casks? For
20 example, when we went to Germany a couple years ago, they had
21 a drop test of a half scale cask from 800 meters, and looked
22 at the deformation of that. And if you could use your finite
23 element on data that are already existing--it would be very
24 expensive to redo quarter scale and half scale tests, and so
25 if you could, you know, basically borrow the information from

1 the international community and then use your finite element
2 analysis and see how well that code works, have those types
3 of opportunities been undertaken?

4 LEWIS: You're absolutely right. We're looking into
5 that. We have interfaced with the IAEA, through the IAEA, to
6 try to obtain the international experience. Our contractor
7 is also very aware of the international, as are we at NRC
8 very aware of what's been done internationally. Just from
9 our corporate history, we have people that have been involved
10 and have worked with IAEA through the years and know what
11 other countries are doing through that forum.

12 We're trying to use that information as much as we
13 can. There are issues that exist. The cask designs are
14 different. That doesn't mean from a technical standpoint
15 they're irrelevant, but for example, in England, they test
16 the Magnox Cask. After they hit it with the train, they did
17 do the hypothetical accident tests.

18 Just one more thought. The idea of testing that
19 we're doing is extra-regulatory. We're not trying to test a
20 cask at the 30 foot drop. We're trying to look at the extra-
21 regulatory response of cask, which testing for that purpose
22 I'm not sure has been thoroughly done, even in other
23 countries.

24 ARENDR: Carl?

25 DI BELLA: Carl Di Bella, Board Staff. I'm sorry I was

1 out of the room when you started your talk, and you may have
2 already addressed this issue, but for the Modal Study or the
3 reexamination study or the package performance study, what
4 sort of initial manufacturing defects do you assume might
5 exist in the package, or in the case of, say, reusable casks,
6 like transportation, what sort of accumulation of operational
7 handling problems do you assume for the purpose of the
8 analyses?

9 LEWIS: We have addressed that issue specifically in the
10 issues report, as a possible issue for follow-on work. The
11 previous work, like the reexamination study and the modal
12 study, did not assume cask imperfections that resulted from
13 the manufacture, for example, during the casting.

14 The issue, as I understand it from what Sandia
15 wrote, I'm not a structural engineering, but they say it's
16 relatively easy to address those types of defects by
17 incorporating them into a finite element analysis. And that
18 is something in the issues report that they do recommend be
19 followed up on.

20 Other human errors, we also have not traditionally
21 addressed other types of human errors which might be during
22 cask preparations, or such. That's also an issue that we
23 have to look at.

24 DI BELLA: Changing topics just a little bit, you
25 mentioned burnup credit. I know that NRC is working with DOE

1 in the disposal area, looking at burnup credit, and that they
2 are actually some time behind what's going on at the
3 transportation area. It seems as if in the disposal area,
4 that NRC is going to require an actual physical assay of the
5 fuel before burnup credit is allowed, at least that's what I
6 read it looks like what they're converging to.

7 Where does it stand in the transportation area?
8 Are you also going to require some sort of assay in order to
9 get burnup credit for transportation?

10 LEWIS: Well, we did in the last--until about a year or
11 so ago, we had a joint review team at NRC that included
12 transportation, storage and disposal people to review the
13 burnup credit topical report that DOE was developing. I
14 think we got to Revision 2 of that report, and my
15 recollection, and I could be wrong, maybe a DOE person knows
16 more, that report was withdrawn.

17 In the transportation and storage arena, we have
18 issued what we call interim staff guidance. It's basically
19 our expectations of what should be in an application for
20 burnup credit. I'm pretty sure that no cask vendor has tried
21 to apply that guidance to date for transportation or storage
22 casks, although I could be wrong there. But that's my
23 impression.

24 During the review of the DOE topical report, we did
25 have for transportation and for storage and disposal

1 purposes, all three were unified in having a requirement to
2 do a physical verification of the assembly burnup prior to
3 loading. I think that in the transportation arena, that
4 reliance on administrative records of the utility has since
5 been decided that that was acceptable.

6 DI BELLA: In which area did you just say?

7 LEWIS: Transportation.

8 DI BELLA: Okay.

9 LEWIS: But I'm a little bit out of my area. I worked
10 on it for a while, but I haven't in the last year or so. So
11 I'm not up to date on the current.

12 DI BELLA: Thank you.

13 ARENDT: I have a question here from Alfred L. Languelle
14 from INALL. The question is is there any consideration/work
15 going on aimed at relaxing the double containment
16 requirements of 10 CFR 71.63 for transportation of spent
17 fuel?

18 LEWIS: Those apply not for spent fuel, but for
19 transportation of plutonium. It says if you have plutonium
20 transportation in a quantity greater than 20 curies, it has
21 to be first of all in a solid form, and second of all, it has
22 to have double containment, meaning two, basically a package
23 inside a package.

24 That is an issue which is currently subject of an
25 open petition for rulemaking at the Commission. It will be

1 addressed as part of revisions to Part 71 to become
2 compatible with IAEA/ST-1 standard which came out in 1996.
3 We're just in the process of starting a rulemaking on Part 71
4 for compatibility. There are some additional issues which
5 have been tagged onto the IAEA compatibility. Plutonium
6 double containment is one of them.

7 So there is consideration of relaxing the double
8 containment, but that doesn't mean that we will relax the
9 double containment. That will be gone through the petition
10 process and we'll get public comments on that during the
11 proposed rule phase and see what comes out there. I know the
12 TruPak container that's used is double containment.

13 ARENDT: Any other questions from the Panel? Staff?

14 DI BELLA: Carl Di Bella again. You mentioned the
15 possibility of tests of the impact of impacts on the fuel
16 assemblies. It would be interesting at the same time to look
17 at the possibility of a transportation accident damaging the
18 fuel assembly, and its consequences for disposal. It seems
19 to me that would be easy enough to look at at the same time.
20 That's a comment, not a question.

21 ARENDT: Okay, well, thank you very much. Our next
22 speaker is Don Doherty from the Naval Nuclear Propulsion
23 Program.

24 DOHERTY: The microphone works, I presume?

25 I am listed, and correctly listed, from the Naval

1 Nuclear Propulsion Program. And Jim Carlson earlier talked
2 about Naval Reactors, and we're one in the same. The Naval
3 Nuclear Propulsion Program is a two-headed organization which
4 has an identity in DOE which is the--well, it's Naval
5 Reactors, and we have an identity in the Navy, which is a
6 long involved name. But basically we have considerations,
7 because of our support of active duty Naval ships, which
8 makes us a little bit different in some aspects than the
9 normal DOE thing.

10 I have handouts out there. By the way, Jim Carlson
11 mentioned over 30 years. I've got 39, and it isn't fun all
12 the time in my job either.

13 In the handout I put out, there are a number of
14 pages of words, but we have talked to the Waste Board a
15 number of times about Naval fuel considerations, and I'm
16 really not going to go over all those words at this time.

17 I want to show an update of where we are on the
18 program, which will be basically pictures, because we're in
19 Idaho and most of the action right now is here in Idaho, so
20 let me start.

21 This shows a nuclear powered aircraft carrier being
22 shock tested. The reactor is its power inside the ship, and
23 does not shut down or scram during the shock. And as you can
24 see, that's a fairly impressive underwater shock. You see
25 the old World War II movies where these depth charges come

1 down and go off a foot from the submarine and the submarine
2 is fine. Not true. There's a tremendous shock wave that
3 comes from an underwater explosion, and we have video tapes
4 of reactor components and other components during shocks, and
5 they wave around like it's a raging storm going on, and yet
6 we insist that the reactor continue to operate to provide the
7 commander of the ship the ability to continue to fight the
8 ship.

9 The last thing you want is to shut down during a
10 battle situation and basically not be able to launch
11 aircraft. So, again, that's slightly different than a
12 commercial plant which has a little different set of
13 objectives, and has a different reaction to, for instance, an
14 earthquake, which is a much lower shock. Naval fuel is
15 designed for over 50 g's. It's even higher than that, but it
16 gets into classified things, which is appreciably higher than
17 what a commercial plant is designed for.

18 Consequently, the Naval fuel is very robust, which
19 is a term we use, but it basically means there's an awful lot
20 of metal there and not as much uranium as you're used to
21 seeing when you look at commercial fuel.

22 All of the spent fuel that has operated in every
23 ship has been shipped to Idaho when it's removed from the
24 reactor. It has come to the Naval Reactor facility out in
25 INEEL and has been examined, every single core is examined,

1 and some in more detail than others if it's a first of a
2 kind, or something like that. And then before 1990, the fuel
3 was moved and reprocessed.

4 In 1990 when reprocessing was stopped, we were sort
5 of left without a home, and we have worked since then with a
6 number of organizations, RW, NRC, the Waste Board, and
7 others, to try and make sure that Naval spent fuel also had
8 an end to the process. I mean, ultimately, operating a large
9 program, which we intend to operate for a long time, you've
10 got to have an end. You've got to be able to say yes, you
11 know, we are responsible, cradle to grave, we're going to
12 make sure that we responsibly take care of this. And,
13 therefore, Yucca Mountain is very important to us.

14 The picture in front of you here is the Naval
15 Reactor facility, which I will probably call NRF a number of
16 times. And for historical note, that is the prototype of the
17 original Nautilus, and there are several other reactor
18 prototypes there, too. They are all shut down now, and the
19 main active facility is this one right here, which is the
20 expended core facility. And this is the facility to which
21 all the fuel that comes and is removed in refuelings of ships
22 comes to. There are rail lines that come in both this end
23 and then come around in here, and we have made over 700
24 shipments. I'm sure there will be some exact numbers that
25 Ray English, who will follow me, will give you on that, and

1 they've all been safe. And those shipping containers come
2 into the building and are unloaded, and then the fuel is
3 moved into a water pit where it's put into fuel storage
4 racks, which are common to most of you, quite similar to
5 commercial or other places underwater.

6 What we are working on now is a dry storage
7 facility, which would be in this region right here, which
8 would be a storage pad, and when we remove the fuel from the
9 water pit and cut off the excess structural material on both
10 ends, we would then put that fuel into canisters which are
11 welded up, and then put into storage over packs, which would
12 be moved out to this facility and put on a storage pad.
13 We're going to have a building over it, but basically it's a
14 storage pad which could be in the open.

15 This is what the inside of ECF looks like. It's a
16 water pit which is 400 feet long, and you can't see it very
17 well, this is taken up from the crane, one of the cranes that
18 goes across the top. Right there are some of the fuel
19 storage racks which are similar to ones in other places. The
20 water pit differs from 25 to 45 feet deep. Most places where
21 fuel is stored is more than 30 feet deep. Those are bridge
22 cranes that run across. But I'm not going to talk about the
23 water pit. That's just to calibrate you.

24 All the fuel comes in and goes in there, and then
25 when we move it, we will move it to a new facility, which is

1 under construction. And this is a cartoon. I'll show you
2 some pictures of the real thing in a minute. This is a big
3 storage facility--there's a few people around here to give
4 you a little sense of scale--where we would move the fuel in
5 through water filled canals from the water pit, and then move
6 it down a line, process line, where the excess ends, fuel on
7 the ends is--not fuel--structural material on the ends is cut
8 off, and so you would just end up with the active portion of
9 the fuel.

10 And then we will also have a facility there to
11 affix a poison material permanently to the fuel, and the
12 material we're affixing is hafnium, and the fuel itself is
13 basically large amounts of zircaloy, with a small amount of
14 enriched uranium, both of which have excellent corrosion
15 resistance. And we think the hafnium will stick with the
16 fuel as long as the fuel maintains its integrity and doesn't
17 dissolve into dust, which we think is a very, very long time.

18 When the fuel comes off the line, gets loaded into
19 a basket--that's the basket, the red things are supposed to
20 be fuel cells--and here is a shielded cask which contains a
21 canister. And that cask is moved up here under that--we
22 actually have a shielded cover on that port--and then the
23 basket is put down into the canister. It is moved back out
24 here. The canister is welded. It's then further moved here
25 under this hole, and a right circular cylindrical reinforced

1 concrete overpack, 13 feet in diameter, is placed over here,
2 and then the canister is pulled up into it. And that will be
3 shown here.

4 That shows you this is the device that rolls back
5 and forth. And these exist. I mean, the transfer mechanism
6 exists. The shield cask is being built right now. The dry
7 cell is completed. It just has not become contaminated yet
8 because we haven't put real fuel in it yet. And this would
9 be a basket with the fuel, the spent fuel in it, and the
10 spent fuel basket would be lowered into the canister.

11 Now there's some real pictures. This is the inside
12 of the dry cell, and he's looking around, but he provides a
13 little bit of scale. It is, as I said, a large hot cell,
14 stainless up most of the walls for decontamination, although
15 it's not intended to have people go in there really almost
16 ever, but things happen.

17 This is the process line I mentioned, and this here
18 is a drill which co-drills through the fuel cell, and the
19 poison that you're going to permanently attach. And then
20 there are zircaloy pins which go through those holes and have
21 locking devices associated with them, so that that
22 permanently ties the poison to the fuel.

23 And then after that, you move further down the line
24 to this big saw, which is a slow moving, looks like a band
25 saw, but it's not a band saw, but it looks like a rotary saw

1 you'd use at home, but it's very slow moving and fairly wide.
2 It really has milling cutters and it just goes slowly and
3 mills through the fuel, so we have nice big chips, no worry
4 about zirc dust fires or anything.

5 When the fuel is finished, it is put into baskets
6 in that area, and this here is the lid, the shielded cover on
7 that hole through the bottom of the dry cell that I mentioned
8 before. So when the basket is full, it would then be picked
9 up, put through that hole in the floor, into a waiting
10 canister. Typically, there would be two or three baskets per
11 canister, depending on the size of the fuel. We have a
12 number of different types and heights of fuel. This is the
13 only picture I could get. This is the crowd. But this is
14 the outside of that same dry cell I showed you, that same hot
15 cell.

16 So this is the operating gallery. There are some
17 manipulators and windows, and there are people out here,
18 there's a control panel behind this gentleman, and the
19 operations inside the dry cell--let me just shift back to
20 that for a second. For instance, here's one of the windows
21 from the inside. There's another window there. So looking
22 in that window, you can see the cutting operation quite
23 clearly, and the cutter is controlled by someone outside the
24 window.

25 Now, a lot of this is sort of semi-automated in the

1 sense that we have a controlled rate of cut, rate of advance,
2 but there are people there, and they can, in fact, make
3 judgments about whether the process is moving right or
4 there's something unusual about a particular case.

5 Now, what do we put this fuel into? This is our
6 canister. It's 316L stainless steel. Wall thickness over
7 most of the length is an inch. It's thicker up at the top,
8 and it has a thicker base, about three inches, and this, I
9 don't remember exactly what it was, somewhere between 10 and
10 12 inches. And the reason for the shield plug at the top is
11 to keep the radiation level in the region where people have
12 to do welding and do inspection. The welding can be pretty
13 much done remotely. Inspection is more difficult. It is to
14 keep the dose down to those people.

15 Now, again, the fuel that we will be loading in
16 here in many cases will be more than five years old.
17 Occasionally, it may be lower, but Naval spent fuel--Naval
18 reactors operate typically in a mode where the average power
19 level is more like 20 or 30 per cent, and there are fairly
20 long periods of time where the ship actually is tied up at a
21 dock doing some work or something, or giving leave to the
22 people, and when you're operating, you're operating either on
23 a go fast run around and play games basis, or you're just
24 sort of transiting, and it's a relatively low power thing as
25 opposed to commercial reactor which operates for most

1 economic efficiency, which is usually very high power. So
2 our fuel will tend to be cooler than commercial fuel at the
3 same amount of time after shut down.

4 I've got a picture here of what that closure looks
5 like. Again, let me show you what I'm going to show you.
6 This region up here, which will show you how we in fact hold
7 the head on and do the seal, and this is the shield plus, the
8 thick plug I mentioned at the top, and this is the wall.
9 This is thickened up here. This is a shear ring, which is a
10 split ring, and it has to be compressed with a little section
11 cut out in order to get it in there, because that's a groove
12 all the way around in a right circular device. So think of
13 it like a piston ring, and once it's in there, then the piece
14 that was missing is put in so you have a complete shear ring
15 all the way around. And the shear ring holds the upward
16 force of the fuel plug under accident conditions, or even for
17 lifting. We actually lift from some threaded holes in the
18 top of the shield plug. So that is the primary way that the
19 stress is taken through that shear ring.

20 We also use that shear ring as one of our two
21 welded boundaries for the canister. And it's welded at the
22 top and at the bottom with fillet welds, and also obviously I
23 can't show it here, but where you come together with the
24 insert, it gets a little more complicated because you've got
25 to do some welds there in a number of other directions to

1 make sure you've got that totally sealed. So that's two
2 welds, plus a number more where the insert goes in. All
3 those welds have to be inspected. The welds would be done
4 with a fairly automatic process, but the inspect will take
5 people.

6 And then this is a--again, this area here is a void
7 and goes all the way around. This would be a flat piece
8 which also would then fit into the top of that void, and that
9 is welded here then, and here. And there are provisions
10 which I don't show on this for little threaded pipe plug type
11 vents to go do helium leak tests and to inspect and ensure
12 that this weld is holding, and then that this weld is
13 holding, too, independently. Again, I don't have time to go
14 through those steps, but it can be done.

15 And I showed you pictures of baskets, mostly
16 cartoons, before. This is very close to what our first
17 basket is being fabricated at today. That's an interesting
18 point. We're building these things. The canister I just
19 showed you, that's on order, being built. In fact, the lead
20 unit is done and undergoing some dimensional testing right
21 now. We think it's done. We'll find out after we do the
22 testing.

23 This basket is a set of disks, goes all the way
24 across, with holes in the disks, and then it has pillars that
25 hold all the disks together. It's not really relied on for

1 anything other than both in dry storage at Idaho and in a
2 transportation accident. It maintains dimensional separation
3 of the fuel, strong enough to take care of that. We're not
4 counting on this in a repository.

5 The canister I showed you is technically a dual
6 purpose canister in that it is currently designed for storage
7 at Idaho and shipment to an eventual location, a repository
8 or interim storage facility. But, in fact, we fully intend
9 it to be a multi-purpose canister so that it is suitable for
10 insertion in Idaho, and that's our intent, and we've worked
11 with RW to make sure that in fact we are doing everything.
12 The rules aren't established, so you don't know, but that's
13 the intent. As I said, we're also buying them right now, so
14 we sure hope it comes out right. And, again, those are the
15 fuel cells.

16 I mentioned the storage overpack. This is about 30
17 inches of concrete. Maybe it's more than that. It's a lot
18 of concrete, reinforced concrete with control density. We
19 hunted around a lot to find the right quarry around here to
20 give us the right kind of the gravel base to put in. It's
21 got a lot of reinforcement. The metal is carbon steel, and
22 the canister, of course it's in the middle, and there are
23 vents, doors here really, and there are screens on them,
24 where air can come in, circulate up between the canister and
25 the overpack, and then go out the top. That's a screen

1 there. And we show pretty good air flow, depending on the
2 driving force, the thermal driving force of the heat of the
3 canister. But this is carbon steel. All these are carbon
4 steel, and this would be used just at Idaho.

5 When it came time to ship somewhere outside of
6 Idaho, we would transfer the canister unopened to a
7 transportation overpack. This is a little sketch here
8 because we're not building this yet. The design has been
9 completed and currently happens to be at our place for
10 approval, but we're going to be chewing on it for a number of
11 months. Nothing particularly exceptional about this. It's a
12 solid stainless steel container I think on the order of eight
13 inches thick, or eight and a half inches thick, and with
14 gasketed closure, and has impact limiters on both ends and
15 would, again, we've shown, we intend to show, and I've
16 already analytically done in terms of the analysis to support
17 the design shown, that it would be able to meet the NRC
18 requirements for shipment.

19 We will probably order that in '04. We want the
20 design in place, but there's no sense spending all the money
21 it's going to take until there's someplace we can ship, or at
22 least we're getting closer to it.

23 I pointed out where we're going to have the storage
24 facility. This here is a corner of the expended core
25 facility, ECF, and there is a transfer path right across here

1 where the loaded storage overpack, this big concrete cylinder
2 with the canister inside of it, where that is moved over and
3 stored actually in this building. This is the storage
4 building. What this higher building is is the overpack
5 fabrication building, because the overpacks are going to be
6 fabricated here in Idaho by an Idaho company, and they'll be
7 making them on--they'll make three at a time in there, and
8 have them far enough ahead, but we don't want to end up with
9 50 overpacks sitting out in the desert getting rained on, so
10 we'll make them up as we need them a little bit ahead of
11 need.

12 And that's a look at the--it's kind of a fuzzy look
13 at the transfer path. It's really a lot smoother than that.
14 We're going to use air pallets to move the loaded overpacks
15 so that they are never more than a few inches above the deck.
16 There's very little in the way of accident or drop that can
17 happen to them. Overpacks don't handle drops very well--or
18 concrete doesn't handle drops very well. And it seems an
19 efficient way to move it. So that, I think is the end of my
20 presentation really.

21 There are a number of points which I chose not to
22 go through all the words, but in the handouts you have, at
23 the very end, it talks about where we stand on procurement.
24 I mentioned we have the first lead unit canister already, and
25 there will be eleven more delivered really this year.

1 We have baskets on order, again for delivery toward
2 the end of this year. The storage overpacks, the contract is
3 placed and the metal parts of the overpacks, the carbon steel
4 parts are being fabricated, and as you can see, the building
5 was being built. So we're well on our way, and we've
6 obviously ahead of what all the requirements are at the
7 mountain, and we're trying to do a very conservative job,
8 which is typically the way we approach things anyway, and be
9 in a position that if Yucca Mountain is approved, or some
10 other facility is approved, that what we have already
11 packaged and defined very well will be suitable.

12 We've been working with RW. We've talked them
13 through what kind of a certification data package we would
14 send with each loaded canister so it's clear what's in it.
15 Those are underway. We've been engaged with them on our
16 quality assurance program, and they have agreed with our
17 planning. The NRC has been involved with that and has also
18 agreed.

19 We are working with the NRC on our plans. We're
20 ensuring that Naval spent fuel will not be critical, will not
21 become critical in a repository. We are also working with
22 NRC, different group, in terms of making sure that the
23 facility we have out here in Idaho Falls--or I'm sorry, in
24 INEEL, will provide comparable safety to the public as a
25 commercial spent fuel facility would sitting on the reactor

1 site. And that's really all I had.

2 ARENDT: Any questions? Bob?

3 LUNA: Don, what kind of capacity do you have in your
4 storage building in, say, years? How long can you store
5 there?

6 DOHERTY: That's a good question. The answer is a long
7 time, even though we're not intending to do that. But the
8 storage pad is very thick and we have done seismic analysis,
9 and it's a very stable situation. That building that you see
10 there is designed to hold 54 storage overpacks. We also have
11 conceptual designs where you could add onto the end of it to
12 the point where, you know, we've conceptually looked up to
13 150 overpacks, I mean, depending on what scenario you put
14 together.

15 The total number of loaded canisters the Navy
16 expects to have by 2035 is 300. We expect that, you know, we
17 will be shipping somewhere between we hope 2010 and, if not,
18 shortly thereafter. And, therefore, those kinds of--150
19 would be satisfactory for that, with some comfort zone. We
20 would not build the extensions until it became apparent that
21 we need the extensions, although I'm pretty sure we'll need
22 at least one.

23 ARENDT: Any other questions? Bill?

24 BARNARD: Don, you mentioned that Navy spent fuel
25 emitted less thermal energy than comparable commercial spent

1 fuel. Without revealing any classified information, can you
2 give me an approximate percentage of how much less?

3 DOHERTY: About half.

4 BARNARD: About half?

5 DOHERTY: I mean, that's really ballpark.

6 BARNARD: Yeah, that's fine.

7 DOHERTY: And it's the same with radiation levels. I
8 mean, typically a canister with Naval spent fuel will have
9 about half the heat and about half the radiation level. Now,
10 that's assuming the commercial one is the same size. I know
11 that there have been a number of studies about shrinking and
12 moving sizes of containers to control heat loads. So, you
13 know, it's within those variables.

14 ARENDT: Dan?

15 BULLEN: Bullen, Board. Just a quick question about
16 your shear ring design on the closure lid for your canister.
17 I mean, obviously you've interfaced with the DOE on that.
18 Is there any interest in DOE in adopting a similar design for
19 those types of containers? I mean, you've got a container
20 that's just as heavy as, or maybe even heavier than the DOE
21 containers. Have they shown any interest in your analyses
22 associated with that shear ring design?

23 DOHERTY: It has been shown to them. We go down to Las
24 Vegas about every four months and have an interchange with--
25 and you've been in some of those--with RW and the people down

1 there YMPO and the M&O, and they are clearly very well aware
2 of what we have. I suspect when we really have something
3 built and welded, there may well be more interest in the
4 sense of, gee, why do we even want to design our own, that
5 thing works, maybe, if it does. But I don't think anybody
6 right now is saying yeah, yeah, yeah, I want a board. Not
7 yet.

8 BULLEN: Just for the record here, the last time we were
9 at one of those interchange meetings, the lights went out
10 there also.

11 DOHERTY: I heard that, yeah, I was supposed to go on
12 that one, but my father-in-law died.

13 BARNARD: Don, I've got another temperature question.
14 This is related to the diagram, Viewgraph 14. Can you put
15 that up so people can see what we're talking about?

16 DOHERTY: Sure.

17 BARNARD: You indicated between the inner liner and the
18 outer concrete storage container, there was an air space?

19 DOHERTY: Yes.

20 BARNARD: For ventilation; is that correct?

21 DOHERTY: Yes, that's right.

22 BARNARD: Can you tell me approximately what the
23 temperature of the liner will be?

24 DOHERTY: The temperature of the concrete--

25 BARNARD: The surface of the liner.

1 DOHERTY: Well, but, I mean, it's not going to be very
2 different than the concrete right in here.

3 BARNARD: Okay.

4 DOHERTY: The liner is capable of handling pretty high
5 temperatures. The concrete can't. Boy, I'd hate to give you
6 a number off the top of my head because I don't know that it
7 would be the right number. If anybody here from Naval
8 Reactors knows the number, feel free to walk to a microphone
9 and contribute it if you know it.

10 Guesswork kind of thing, it would be a number in
11 the--I'd better not even guess. I think it's under 200
12 degrees, but I--

13 BARNARD: Centigrade?

14 DOHERTY: No, fahrenheit. I mean, concrete, there are
15 certain temperatures at which concrete tends to deteriorate
16 above that for long periods of time, and there are rules in
17 the--the NRC has rules about what are acceptable
18 temperatures, and it depends to some extent on the aggregate
19 you use, and things like that. And we meet those rules, and
20 we also have assumed for design purposes a very strong
21 thermal source. We will never have anything as hot as we
22 have assumed for design. So if I gave you a number, it would
23 be a high number, and I can't give it to you, because I don't
24 have it. I mean, I could get back to you, I could probably
25 get it to you by the end of the day. But it would not be

1 anywhere near that high. I would guess two-thirds of that
2 number. And we show we're okay with the NRC rules on that
3 number. Does that answer it, I mean, to the extent I'm
4 capable of it?

5 BARNARD: Yeah. If you could get me a number in the
6 next week or two?

7 DOHERTY: Will do. Sure.

8 BARNARD: Temperature is pretty important in canister
9 performance, and that's why the interest.

10 DOHERTY: Sure. We ran tests. We did fairly large
11 scale tests, I don't know if they're full-scale or not, where
12 we in fact mocked up the thermal path and showed how much air
13 flow went through here, and we have done other extensive
14 analyses, mostly analyses here in terms of conservative
15 sources, assuming that instead of, you know, a hot spot near
16 where the center of the fuel is, it's hot all the way up, and
17 that's the kind of conservatisms that go into the number.
18 But we'll get you a number.

19 ARENDT: Okay. Anything else? Thank you very much.

20 DOHERTY: Okay, thank you.

21 ARENDT: Our next speaker is Ray English. Ray is the
22 transportation officer for the Naval Nuclear Propulsion
23 Program.

24 ENGLISH: We'll give you a change of pace and go on this
25 side. The Board members over there were starting to get this

1 crink in their neck and they said could you please go to the
2 other side? We'd appreciate it.

3 Good morning. I have been responsible for the
4 Naval Nuclear Propulsion Program Transportation activities,
5 rail transportation activities, for 20 years, and that
6 includes shipments of spent fuel. And, gee, I don't--is Jim
7 Carlson still in the room? I don't understand he and Mr.
8 Doherty, because I have fun every day. I guess one of the
9 differences is that I'm actually shipping stuff, Jim. I
10 don't mean that as a slight, but--

11 The Naval Nuclear Propulsion Program's outstanding
12 operational record with utmost care and concern for public
13 health and safety and the environment extends to its spent
14 fuel transportation activity. Since 1957, the program, in
15 conjunction with the nation's railroads, has safely moved 727
16 containers of spent fuel to the Idaho National Engineering
17 and Environmental Laboratory.

18 And earlier, Mr. Doherty talked about activities at
19 the Naval Reactors facility on the INEEL; what I'm going to
20 talk to is the activity getting spent fuel to the INEEL.

21 Naval spent fuel shipments are safe for three
22 reasons. First and foremost, because of the robust shipping
23 containers in which the spent fuel is packaged and
24 transported. Secondly, because of the inherently rugged
25 nature of Naval reactor fuel components, which Mr. Doherty

1 alluded to. And third, because of the proven practices we
2 follow in making these shipments. And I'll speak to each of
3 these three factors in a little more detail now.

4 I don't want to replot any of the ground that Bob
5 Lewis talked about concerning the performance standards.
6 Naval spent fuel shipping containers are Type B containers
7 certified to Nuclear Regulatory Commission accident
8 performance standards. These accident performance standards
9 require that a loaded container be able to withstand severe
10 real world accidents, with minimal release of radioactivity
11 and limited radiation level increases near the container.

12 Now, these performance standards are expressed in
13 engineering terms, for example, a 30 foot drop onto an
14 unyielding surface. There's no such thing in nature as an
15 unyielding surface. The reason the standard is written that
16 way is so that as a result of the standard, all of the energy
17 of the drop is absorbed by the container itself. A 30 foot
18 drop onto an unyielding surface is roughly the equivalent of
19 a 60 foot drop onto a reinforced concrete surface.

20 There was some discussion about the performance
21 standard of the fire test, 1475 degrees for 30 minutes.
22 Again, that's an engineering standard. It's 1475 degree heat
23 input to the container for 30 minutes solid. In a real world
24 environment, flame temperatures would likely have to be much
25 higher than 1475 degrees. And there are other accident

1 performance standards, water immersion and puncture.

2 The regulation specified that the same container
3 must survive all of the accident standards in sequence, so
4 you have the cumulative effect of damage coming into play in
5 order to certify a container also. And there have been full
6 scale crash demonstrations of containers performed in the
7 United States and the United Kingdom. These demonstrations
8 have proven that the standards and the analysis methods used
9 to evaluate containers against the standards are effective
10 and reliable.

11 Here is the workhorse Naval spent fuel container,
12 the M-140. The M-140 is 14 inches solid stainless steel.
13 Naval spent fuel is shipped dry, meaning the container is not
14 filled with water for transport. With internal support
15 structure modifications, the M-140 can handle a variety of
16 submarine and aircraft carrier reactor fuel. There are 24 M-
17 140 containers in our inventory. Each container has its own
18 railcar to which it is permanently mounted.

19 Here is the only other container we are currently
20 using, the M-160 container. The M-160 is specifically
21 configured for a particular Naval reactor plant fuel design,
22 and it's currently being used for a handful of shipments of
23 that design fuel. The M-160 is twelve inches thick,
24 consisting of a steel inner and outer shell, and lead in
25 between the inner and outer shell.

1 Now, regarding Naval reactor fuel components, Mr.
2 Doherty touched on this, the components are solid metallic
3 form, not flammable and not explosive. The nature of U.S.
4 Navy war ship operations and life on a nuclear powered war
5 ship requires that Naval reactor fuel components be
6 manufactured to withstand battle shock conditions. And
7 because the ship's crew lives and works within feet of the
8 reactor plant, the fuel components fully contain all fission
9 products manufactured, or produced.

10 The other operational requirement, which results in
11 an extremely rugged fuel component, is the designed
12 operational life of Naval reactor fuel, 20 years or longer.
13 We are currently installing reactor fuel in the new class
14 submarines that should last the life of the ship. The boat
15 will never have to be refueled. The result is a rugged
16 component, exceptionally well suited for transport, storage
17 and disposal.

18 Now, the third factor contributing to the safety of
19 Naval spent fuel shipments is adherence to the shipping
20 practices, which over 40 years of shipping experience, have
21 proven effective from an operational and safety standpoint.
22 Every shipment is escorted by specially trained Navy
23 couriers. The escorts serve as on-board traffic managers,
24 working with trained crews and local railroad officials for
25 the movement of the shipment.

1 The escorts also receive training and have the
2 equipment and material available to act as first responders
3 in the event of an accident or security emergency.

4 Government owned railcars are used, and inspected
5 thoroughly and maintained to ensure mechanical worthiness of
6 the transport vehicle.

7 We make advance arrangements for each shipment with
8 the involved railroad operational and police departments.
9 There are no surprises between us, the shipper, and the rail
10 carriers.

11 We do not require that the shipments move in
12 special or also called dedicated trains. It is the
13 longstanding position of the Navy and the Department of
14 Energy that dedicated train service is not required to make
15 spent fuel shipments safe. There may be other reasons to use
16 dedicated train service, but it is not clear that the
17 perception of safety and dedicated train is valid. But in
18 many cases, and this may be one of the cases, perception may
19 be reality, and this is why we continue to work with the
20 railroad industry on this issue.

21 Routing is determined by the railroads. The
22 detailed routing is determined by the railroads. They know
23 their tracks and their system better than anyone else, and
24 they must have the flexibility to route the shipments as
25 they see fit.

1 This slide depicts our most common shipping routes.
2 Obviously, the destination for every shipment is the INEEL.
3 The origins on the East Coast are Portsmouth Naval Ship Yard
4 in Portsmouth, New Hampshire, Newport News Ship Building in
5 Newport News, Virginia, and Norfolk Naval Ship Yard in
6 Portsmouth, Virginia. On the West Coast, the one origin is
7 Puget Sound Naval Ship Yard in Bremerton, Washington.

8 When East Coast shipments reach Kansas City, this
9 is an example of rail carrier routing flexibility, the Union
10 Pacific Railroad removes shipments on the Nebraska route or
11 the Kansas/Colorado route, depending on factors such as
12 traffic volume on each line, and ongoing routine track
13 maintenance on each line. And we often do not know which
14 route Union Pacific is going to take until the shipment gets
15 to Kansas City.

16 Discussion of a few more of the shipping practices.
17 The location and status of every Naval spent fuel shipment
18 is monitored constantly through the same satellite tracking
19 system which is used for nuclear weapons shipments. Since
20 Naval spent fuel shipments are classified national security
21 shipments, no pre-notifications are made to governors'
22 designees per NRC or DOE procedures for unclassified
23 shipments. But state law enforcement and emergency
24 management officials are briefed periodically about Naval
25 spent fuel shipments by the DOE Albuquerque office that

1 briefs state officials on nuclear weapons shipments, and the
2 Naval Nuclear Propulsion Program representatives provide
3 briefs as requested.

4 One other point here is that the Naval Nuclear
5 Propulsion Program sponsors and coordinates a periodic Naval
6 spent fuel shipment emergency exercise with state and local
7 emergency services personnel. We do these exercises every
8 other year, and we alternate them between West Coast and East
9 Coast. These exercises familiarize participants and
10 observers with Naval spent fuel shipments, interacting with
11 the escorts that accompany the shipments, and the coordinated
12 response and recovery required in the event of an accident.

13 This picture of a Naval spent fuel shipment shows
14 that we usually move more than one container at a time,
15 typically two to four containers in a single movement. The
16 other point I want to make here is that the escorts, our
17 escorts in the caboose, which is at the rear of the train,
18 maintain a hand-held radio link with the railroad's train
19 crew in the engine. We think it's very important for our
20 escorts to be able to talk with the people that are driving
21 the train.

22 I guess one other point I can make, you can't see
23 it very well, you can probably see it a little better in your
24 handout, there are two containers at the rear of this train
25 which look different than the M-140 or the M-160. Those two

1 containers are the older generation M-130 container that used
2 to be the workhorse of our fleet, but we recently made what
3 we think is the last shipment of M-130 containers. The M-
4 140s were designed to take over for the M-130s.

5 The safety of Naval spent fuel shipments has been
6 fully analyzed in Navy and DOE spent fuel environmental
7 impact statements. The analyses addressed incident-free
8 transport and potential serious accidents, and covered past
9 and future Naval spent fuel shipments.

10 The future shipments included approximately an
11 additional 500 containers between 1995 and 2035 to the INEEL,
12 and about 300 containers from the INEEL to a repository or
13 interim storage site outside of Idaho.

14 These next two slides and the ones in your handout
15 summarize the results of these analyses, and clearly show
16 that the average annual risk to the public from the
17 radioactive nature of the shipments in all scenarios is
18 extremely, extremely low.

19 Expressing that radiological risk in terms which
20 are more pertinent and easier to comprehend, the average
21 radiological risk associated with Naval spent fuel shipments
22 are well below one chance in billion. Comparing this risk to
23 other annual risks provides some perspective.

24 For example, the risk of dying in an automobile
25 accident is one chance in 40,000, compared to the Naval spent

1 fuel radiological risk of one chance in one billion. And the
2 chance of dying from a meteor striking the earth is even
3 greater than the Naval spent fuel radiological risk.

4 That concludes my remarks about shipments to the
5 INEEL. I'll be happy to try to answer any questions.

6 ARENDDT: Dan?

7 BULLEN: Bullen, Board. Just a quick question about
8 your first responders being on the train. Is there a problem
9 associated with a severe accident and their survival? I
10 guess that's the key issue.

11 ENGLISH: Certainly there is, yes.

12 BULLEN: So they--I guess that's just the easiest
13 question. I mean, the first responder on the train is
14 actually a good idea, because it would be there for the
15 emergency responders from nearby counties and the local
16 governments if there is a derailment that doesn't have the
17 severity that would injure those people.

18 ENGLISH: Right. We think that having the escorts on
19 the train brings a lot to the shipment in terms of being able
20 to interface with local emergency responders. Whether or not
21 the escorts survive a severe accident, that's a crap shoot,
22 we think. So we think it's worthwhile having them there.

23 ARENDDT: Carl?

24 DI BELLA: Carl Di Bella, Staff. Of the 727 shipments
25 that have been made of Navy spent fuel, how many actually

1 have been in dedicated trains? Not how many, what fraction,
2 roughly?

3 ENGLISH: Well, that's a tough question, because in the
4 Fifties, Sixties and Seventies, I think we mainly moved in
5 regular freight service. Starting in the Seventies, the
6 railroads started to move some shipments in dedicated trains.
7 We went through a period where all the shipments moved in
8 dedicated trains, Seventies, Eighties, and then we started to
9 move shipments in regular freight again in the late Eighties
10 and through the Nineties, one exception being the Union
11 Pacific Railroad has almost always moved the shipments in
12 dedicated train as a matter of company policy. So I couldn't
13 give you a number, but there's a fair mix.

14 ARENDT: Any other questions? Richard?

15 PARIZEK: Parizek, Board. You don't tell the governors
16 you're coming, but an M-140 looks like a pretty unique train
17 car, as does the M-160, so I guess anybody with any alertness
18 would know here comes one now?

19 ENGLISH: Well, yes. It's an interesting dilemma for a
20 national security shipment, especially the last five or six
21 years when we're gone out of our way to go talk to people,
22 show pictures, just like this presentation. But you're
23 right, so there is a paradox there that we have to deal with
24 because it's a national security shipment.

25 ARENDT: Any other questions?

1 Okay, we've got some extra time and I believe what
2 we will try to do is to--does anybody in the audience, would
3 they like to ask any of the speakers questions.

4 Linda, has anybody signed up so far? Carl, why
5 don't we take the question that you've got.

6 DI BELLA: This is Carl Di Bella, Staff. A member of
7 the public, Sally Devlin, called in an hour or so ago with
8 several questions, and let me just--there are three
9 questions. Let me read them one at a time and see if there
10 is anyone here who can tackle them.

11 The first question is--Sally Devlin, incidentally,
12 is a resident of Pahrump, Nevada. The first question is,
13 "Where did the new railroad plan for Pahrump come from, and
14 who prepared it?"

15 Is Jim Carlson still here? Jim, did you hear the
16 question?

17 CARLSON: No, I was out of the room.

18 DI BELLA: This is from Sally Devlin. "Where did the
19 new railroad plan for Pahrump come from, and who prepared
20 it?"

21 CARLSON: Jim Carlson, Department of Energy. I'm not
22 aware of a new railroad plan for Pahrump, or who prepared it.
23 Perhaps they're talking about some of the alternative routes
24 that were analyzed in the draft environmental impact
25 statement, and I would probably pass that over to some of the

1 folks who are here from the Yucca Mountain Project Office.

2 ARENDT: You wanted to speak, didn't you, Wendy.

3 DIXON: What was done in the draft environmental impact
4 statement was an analysis of both some alternate routes as it
5 related to sensitivity analyses for transport vis-a-vis
6 truck, just again for sensitivity analyses because they don't
7 meet DOT regulations and the state hasn't come up with a
8 preferred alternative route at this point in time.

9 And then we did look at various rail corridors, not
10 proposed, but for purposes of analysis. We called them
11 implementing alternatives and we turned to the public and we
12 asked for their input during the DEIS time frame on those
13 various alternative routes. And one certainly does go in
14 that vicinity. I wouldn't use the word proposed. These are
15 alternative implementing corridors that we're looking for
16 public input on, or we were looking for public input on,
17 during the comment period on the draft, and they did do
18 comparisons between length and differences in cost and
19 construction and a suite of environmental parameters.

20 DI BELLA: Thank you on Sally's behalf. That's question
21 Number 1. Question Number 2, "Are they aware that there are
22 absolutely no medical facilities in this area? This area
23 meaning all of Nye County and the part of Lincoln County that
24 Nellis Air Force Base falls in."

25 DIXON: Yes.

1 DI BELLA: An anonymous person in the audience who just
2 spoke said yes. Question Number 3, "Route 95 and Route 160
3 are 9 hazard roads." That's the number 9 hazard roads, which
4 is a state rating system. "Are you aware of this?"

5 DIXON: We are aware that they do not meet DOT
6 regulations, yes.

7 DI BELLA: Could you come to the mike and say that so we
8 can get it on the record? And this is Wendy Dixon again.

9 DIXON: We are aware of the fact that these do not meet
10 DOT regulations for the transport of spent nuclear fuel and
11 high level waste. They were done for purposes of sensitivity
12 analyses. So thank you.

13 DI BELLA: Thank you again on behalf of Sally Devlin.

14 ARENDT: Richard?

15 PARIZEK: Parizek, Board. We've heard a lot about a lot
16 of shipments, and I guess everything seemed to have gone more
17 or less as planned. We understand there was a lot of
18 engineering judgment used, and then we have finite element
19 modeling that comes out and adds another dimension to the
20 analysis routine. So all of this, if we go back 30 years ago
21 and think about shipment, it's performed as planned and is
22 more or less, you know, the experience is as good as what you
23 had hoped? I'm thinking about this in terms of the Yucca
24 Mountain Project in general, how to anticipate how that's
25 going to perform, and in 30 years, you'd like to feel good

1 about the decision to operate 30 years and say it's just like
2 we hoped it would be. Is that true for transportation, or
3 were there surprises, and you had to do some fix-ups along
4 the way?

5 DOHERTY: Doherty, Naval Nuclear Propulsion Program.
6 It's interesting because back in--I've been in the program a
7 long time, and when I came in the very early Sixties, we were
8 still working on that old fashioned M-130, which we are about
9 to retire, and it was designed very conservatively with a lot
10 of margin. It was designed originally to ship wet. We had
11 heat exchangers that mounted on the rail cars. We even had
12 some shielded container to hold fission gases, or something,
13 all of which were just unnecessary and ended up being
14 stripped off.

15 But in all the years I've been in the program, I
16 don't remember any significant problem. There are problems.
17 there are always problems. The M-130 head has bolts that
18 hold the head on. Every now and then you'd gall one of the
19 bolts and you had to go in and grind out the hole or put an
20 insert in. It's that kind of a problem, not ever a problem
21 with meeting function.

22 PARIZEK: Thank you.

23 ARENDR: Paul Craig had asked a question earlier, and
24 John Kessler was going to respond, and we've got time now, so
25 he's agreed to ask the question and offer a response. John,

1 thank you.

2 KESSLER: John Kessler, EPRI. Paul had asked a question
3 earlier about who was responsible for looking at aging during
4 dry storage for the existing dry storage systems. The answer
5 is the utilities are responsible for that. What are they
6 doing? There is currently a project being funded jointly by
7 NRC Research, EPRI, DOE/EM and DOE/RW to look at one of the
8 particular casks that's sitting at INEEL, the casker cask.
9 It's been there about 15 years fully loaded with spent fuel
10 for that whole time.

11 The interest is is that current spent fuel storage
12 systems are licensed for 20 years only. Virginia Power is
13 going to have their license expire in 2006, and there's some
14 interest to understand, you know, what's the basis for being
15 able to extend that license beyond 20 years. So this project
16 is part of that effort to develop a basis for extended
17 storage by looking at any potential degradation in this
18 particular cask.

19 There's also an ASTM committee that's meeting to
20 develop standards for looking at aging of dry cask storage
21 issues. So that's what's been happening in terms of that
22 issue, to answer Paul's question.

23 Getting back to the last issue we talked about
24 regarding experience during shipment, we've asked in Europe
25 about activities in terms of EDF shipping to spent fuel

1 reprocessing, what is it like when it gets there? Also, in
2 Sweden, what's the experience in terms of when the utilities
3 ship to CLAB, their interim storage facility, what is it like
4 when it gets there? The anecdotal evidence, and we're trying
5 to track down some actual physical reporting, is that they
6 haven't found anything that started out intact that wasn't
7 fully intact when it got to the end of the line, so to speak.
8 I'm trying to find some references to verify that.

9 ARENDT: Thank you very much. We have someone from--
10 yes, ma'am? Identify yourself, if you would, please.

11 GOFF: Sure, thank you. I'm Jackie Goff with the
12 Department of Transportation Inspector General's Office.
13 We're getting ready to look at internally what DOT is doing
14 that's preparing for this. So that's why we're here. But I
15 find it interesting while this is about transportation, a
16 couple of the earlier presentations, for example, the forum,
17 there was no mention of DOT other than they can come. It was
18 on the sly, but no mention, they can be involved if they
19 wanted to.

20 And on the stakeholders, on the next presentation
21 of all the stakeholders, it was then anecdotally incidentally
22 mentioned that there were two parts of DOT that could be
23 informed if they wanted to, but I guess they're not
24 considered stakeholders, if you will, although the
25 transportation.

1 It was very interesting what the Navy is doing, but
2 the Navy is not--is outside, obviously, the transportation
3 regs. and the piece that we have, and it is our understanding
4 from FRA that those new cars you're talking about have not
5 been upgraded for their brake system. And so for FRA, when
6 they're not told ahead of time, they can't inspect, but they
7 haven't been upgraded.

8 So I guess my only question is I'm interested in to
9 what extent here today you're going to get into other
10 transportation issues, not within the Naval portion of INL,
11 where they're only transporting it within there, but the
12 transportation that most people are concerned about, which is
13 going from East Coast, West Coast, or all the routes that
14 you're talking about.

15 So I'm just asking for a sensitivity for the rest
16 of the day to presentations, if you have any information on
17 that, if you could add that, because that would be very
18 helpful I think.

19 Thank you.

20 ENGLISH: Ray English from Naval Reactors. I appreciate
21 the comment for the need for sensitivity from DOT. Regarding
22 the brakes on the M-140 container cars, the M-140 container
23 cars did go through extensive dynamic testing and were
24 certified by the Association of American Railroads to meet
25 all their requirements when they were built.

1 I think what you may be referring to is that the AR
2 is developing a new type of electronically pneumatically
3 controlled braking system, and we are evaluating that. But
4 those cars right now currently meet all AAR requirements.

5 CARLSON: Jim Carlson, DOE. Just for clarification on
6 the slide that showed the membership to the TEC, those are
7 members. We also have a number of participants. DOT is a
8 very active participant, as I mentioned. Three
9 administrations actually participate. FRA has been very
10 active for a long time. Federal Highway through particularly
11 the Motor Carrier Safety Administration, has been very active
12 in the routing area. And the Research and Special Projects
13 Administration, who actually promulgated the routing, has
14 also been very active. We do have regular reports on the DOT
15 activities that go on and attendance at the meetings.

16 ARENDT: Do you want to make any comment, Bob, or Chuck?
17 Very good. Okay. Does anybody else have any question
18 they'd like to raise?

19 (No response.)

20 ARENDT: We're going to--I think what we'll do is we'll
21 break early here. It is now almost 11:15. Instead of coming
22 back at 1 o'clock, how about coming back at 12:45. Does
23 anybody have a problem with coming back at 12:45? Chuck, are
24 you available at 12:45?

25 DETTMANN: I'm available to do it now, if you'd like.

1 ARENDT: Do you want to finish yours now? Why don't you
2 come up? Why don't you come on now then.

3 Chuck, Bill just points out there are people that
4 wanted to hear your presentation, and they plan on coming to
5 hear it and they won't be here. So why don't we do--I guess
6 why don't we just go ahead and break, and get back at 12:45
7 or 1 o'clock. 12:45, I guess. Let's shoot for 12:45.

8 (Whereupon, the lunch break was taken.)

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1

2

3

AFTERNOON SESSION

4 ARENDT: Good afternoon. We'd better get started.

5 Those that are out can catch up when they get back.

6 We have as our first speaker today Chuck Dettmann,
7 who is the executive vice-president, Safety and Operations
8 with the Association of American Railroads in Washington,
9 D.C. Chuck is going to tell us a little something about
10 railroad human factors.

11 DETTMANN: Thank you, John.

12 Before I get into the human factors, I would like
13 to say that we in the railroad industry, not only the AAR,
14 and when you speak about longevity, I've been 37 years coming
15 up through railroad operations for the first 29 of them, and
16 spent the last eight in Washington with the AAR. So I'm an
17 engineer out of Georgia Tech, and then went to Harvard and
18 Northwestern. So I understand what we're trying to do.

19 We in the railroad industry very much consider
20 ourselves partners with all of you in trying to develop a
21 safe transportation for spent nuclear fuel as we all work
22 forward together.

23 We were asked to talk about railroad human factor
24 safety issues, so that's what here for the next few moments
25 I'd like to discuss with you. After this, Bob Fronczak will

1 be talking about our performance standard piece, and I'll be
2 glad to get into that following Bob's presentation.

3 So the discussion this afternoon is going to be
4 dealing with four issues. Number one, the current state of
5 railroad safety; two, fatigue; three, crew change
6 requirements. This is a little fuzzy, but I thought it was
7 important because there's a lot of rumors that go around this
8 industry that I wanted to clear up to the Board. And, four,
9 a new program that we've started in the railroad industry,
10 crew resource management.

11 The railroad industry employee injury rates versus
12 other industries I think is important. When you look at
13 railroads, wholesale and retail, i.e. clerks here in the
14 hotel, at Wal-Mart, anywhere else, mining, agriculture,
15 construction and manufacturing, lost workday cases per 100
16 full-time employees in 1998, the railroad industry was safer
17 for its employees than other industries.

18 Our injury rates in the transportation sector, and
19 these are injuries to employees, again, airlines, transit,
20 trucking, barges and rail, we are the most safe
21 transportation industry for our employees in the United
22 States.

23 When we look at overall safety, train accidents per
24 million train miles, which we feel is the most appropriate
25 way of looking at it, human factors is the largest--human

1 factors and track, and when it comes to equipment, and then
2 other, let me discuss this here a little bit. This is as
3 reportable to the Federal Railroad Administration. It is any
4 accident that incurs over \$6,500 damage. One of the
5 documents that I read on the way out said that the reportable
6 to the Motor Carrier Safety Administration is \$50,000.

7 So I think as we look at the statistics, we've got
8 to be careful about what we're doing. The vast majority of
9 these track accidents are slow speed accidents in yard
10 tracks. So that's the reason why the anomaly of track there.

11 Train accidents per million train miles,
12 significant reduction since 1980. This is back when the re-
13 regulation happened. We were able to act more like
14 commercial operations, and we have seen a steady improvement
15 here. We've sort of levelled out. We recognize that, and I
16 want to talk to you again, the human factor piece, which is
17 the largest piece and the hardest one, truly, to address, is
18 one of the things that we want to get at by our crew resource
19 management program that I'll be speaking to.

20 Hazardous material train accident with a release,
21 and you can again see the significant improvement, although
22 we have levelled out somewhat. I think the most significant
23 piece is right there, 99.996 per cent of car loads of
24 hazardous material are accident release free in the United
25 States.

1 So when we look at human factors caused train
2 accident, again, it has plateaued, slight growing here in the
3 last couple of years, and then if we level it per million
4 train miles, we've seen a significant reduction in the early
5 Eighties, and it has begun to flatten out now. But it has
6 flattened out still at a rate that is significantly, let's
7 say, better than what we have seen in the past, or in
8 comparable forms of transportation.

9 The next topic, fatigue. Fatigue is something that
10 has been under consideration not only in the railroad
11 industry, but in all of transportation for many, many years
12 by the government, by NASA, by NTSB and all others. We began
13 our effort in the railroad industry in 1992 as a cooperative
14 program between our two largest unions, the Brotherhood of
15 Locomotive Engineers, and the United Transportation Union and
16 the Railroads. We got together and said what can we do about
17 fatigue. Again, this was eight years ago.

18 We began to look and we started out with no
19 preconceived ideas. We began to look at data. The review of
20 the data, and this was the largest study that has ever been
21 done in any transportation industry in the world, we looked
22 at over 6 million engineer start shifts to correlate fatigue,
23 time on duty, safety, all of these kinds of things. It was a
24 landmark piece of studies that we worked together, and it
25 culminated in a national agreement between the railroad

1 industry, BLE and UTU, where we set up committees on each
2 railroad to address the fatigue issues.

3 Now, in our industry, as in aviation and in marine
4 and highway, there are significant economic interests that
5 are surrounding this thing called fatigue. And fatigue is
6 not a very cleanly identified piece. I think research has
7 shown, and Martin Mulreed and a lot of the others, you know,
8 the person least able to tell you that you're fatigued is
9 yourself. You always feel that you can go ahead and get on
10 with it.

11 In any event, we set up committees on each railroad
12 that worked outside of the traditional labor relations piece
13 to address fatigue.

14 Research on individual railroads, we came up with
15 the help of Circadian Technologies out of Boston, a thing
16 that was tried on the railroads in Canada called CANALERT,
17 where instead of, as the traditional railroad operation is,
18 is that you have trains that run and you have rotating crew
19 schedules that when you get to first out, you catch the
20 train. They said let's do it differently. Let's have a pool
21 of crews that are set up to work in time pools, and they
22 catch whatever train that is coming through. Radical
23 thinking. Never been done before in the industry. It is
24 being implemented throughout Canada, and various places in
25 the U.S.

1 Now, one of the major considerations in the
2 railroad industry is there are no two crew districts or train
3 schedules or things that operate the same way. Some crew
4 districts are 350 miles long. They take eleven hours to get
5 there. Some crew districts are 90 miles. And you turn 90
6 miles out and 90 miles back. Lots of fast trains. Lots of
7 slow trains. Lots of them with all different kinds of train
8 speeds in there. So one of the things that we have come up
9 with is that there is no Silver Bullet, there is no
10 particular answer which we have been--regulators and NTSB
11 have been pushing for for years. But what we have found
12 through this research and the work that we've done is there
13 is no one size fits all.

14 We additionally, for the non-operating employees,
15 which are the maintenance away employees, mechanical
16 employees, clerical, and even the railroad officers in times
17 of distress, such as accidents, storms, what have you, we are
18 looking at the fatigue issues that are even in the non-
19 operating crafts as we speak. The FRA, by the way, is a
20 significant partner in all of these efforts with us.

21 Our research findings. Accident potential
22 increases when a crew has been on duty more than nine hours,
23 and it is in the Circadian period between midnight and 6:00
24 a.m. And we've talked about midnight to 6:00 a.m. is
25 dangerous, the 6 million employee study said no, it's not

1 between midnight and 6:00 a.m., it's if you've been on duty
2 more than nine hours, an employee has worked five consecutive
3 permissible shifts with a greater than ten hours on duty, or
4 more than six consecutive permissible shifts in seven days.

5 The railroad industry, Amtrak is one of them, has
6 readjusted the schedules based on the data that we have come.
7 What we do here is that we will notify crews, and in our
8 training programs, we bring this issue up between midnight
9 and 6:00, if you've been on duty nine hours, there is a
10 potential for an increase in an accident.

11 Any of you who are students of the fatigue issue,
12 Mark Rosekind, who was with NASA Ames and has not got his own
13 company that he's doing, did significant research in
14 commercial aviation and military aviation, and fatigue cannot
15 be changed. You can't do anything about it. The only thing
16 you can do is come up with counter measures, recognizing when
17 you're fatigued, recognize what the Circadian rhythms are,
18 and then come up with counter measures with which you can
19 mitigate fatigue. But you cannot eliminate it. The human
20 body will not allow it to do so.

21 So what we are doing in the railroad industry is
22 we're assigning work days and rest days. Now, this may seem
23 a little funny if you're not in the railroad industry, but
24 when you're 24 hours, seven days a week, through the
25 holidays, through the weekends, all the time, good weather,

1 bad weather, having assigned work and rest days, again, some
2 of which is matching trains to crews rather than vice versa.
3 Minimum of eight hours undisturbed rest between calls, 7:00
4 a.m. markups after 72 plus hours leave. What does that mean?
5 We found out the hard way. There was an accident in Kansas
6 here a couple years ago where a locomotive engineer had been
7 on vacation for two weeks. And tradition has had it over the
8 years that when your vacation or leave is up, you mark up at
9 midnight, the start of the new day.

10 Well, what we have found, and there was a
11 subsequent accident unfortunately, in any event, what we
12 found is the midnight markup, which is traditional in this
13 industry, is not conducive to getting people from their leave
14 cycle, which is normally work during the day and sleep at
15 night, to going to work at midnight, or whenever else, so
16 that we're going to a 7:00 a.m. markup. It seems sort of
17 simple when you've been around for 150 years and there's so
18 much tradition and culture associated with it, that after you
19 look at the data, you can find out there's a lot of things we
20 can do to improve fatigue.

21 Increased assigned service so everyone knows when
22 they're going to work and coming home. One of the big things
23 we have found, it is not the amount of time on duty that
24 addresses fatigue. It's the predictability of time off. The
25 predictability of time off has more to do with "fatigue" and

1 reducing fatigue, and how much time off depends on how much
2 sleep that you have. Okay? And how much sleep that you have
3 depends on how much you've been working.

4 But in any event, there are a whole lot of issues,
5 prompt relief after twelve hours, standards for lodging,
6 improved accuracy of line ups, these are some of the things
7 that we have done.

8 To get into some of the more exotic things, and I
9 say exotic, time pools, we talked about time pools where you
10 match the trains to the crews. Sleep disorder screening. We
11 probably have looked at 50 per cent of the craft employees in
12 the railroad industry for sleep apnea, and we have found it
13 varies between 7 and 20 per cent of our employees suffer from
14 sleep apnea.

15 Sleep apnea is a disease. There is a way you can
16 control it. But if you don't know you have sleep apnea,
17 which you don't get your rest, and because of the way you
18 sleep, that fatigues you when you come back to work, and this
19 is the screening that the railroads are doing on their
20 employees to let them know--all we're doing is letting them
21 know that it appears that sleep apnea, that you are subject
22 to it, and then they are free at company expense to go
23 forward and deal with a treatment of choice.

24 Napping/employee empowerment. As I mentioned when
25 I started, I was an operating officer, assistant train

1 master, train master, superintendent, general manager, all
2 that stuff in the Sixties and Seventies, and I have fired my
3 number of employees for sleeping on the job. In a little
4 over one generation, now we are encouraging employees to nap,
5 train and engine crews.

6 now, it is very, very specific what napping is. It
7 is a 45 minute period of time, of which you're allowed 20
8 minutes to nap. And you tell the dispatcher where you're
9 going. The train either is in the siding, or the train is on
10 the main track where there's no conflict with other trains,
11 et cetera. But if you as an employee, for whatever reason,
12 feel that you cannot make safely your objective terminal due
13 to fatigue, you are free to nap in the railroad industry.

14 Ongoing committee review, modification of measures
15 based on effectiveness. We are looking at this. We have the
16 work/rest committee that I mentioned. We have a scientific
17 advisory panel, which there's three of the best independent
18 scientific minds in the country, Greg Bolinki of the U.S.
19 Army who is the guru for the U.S. Army for fatigue, Dr.
20 Carlos Compretor, who is with the Coast Guard, and then an
21 academician in Canada, and his name just left me, but I'll
22 think of it who is working with us reviewing what we are
23 doing in the railroad industry as far as fatigue is
24 concerned.

25 The sum of all of this fatigue in the railroad

1 industry, and I leave it with you this way, the North
2 American railroads are the leaders in world transportation in
3 addressing fatigue. And this is recognized by NTSB, by the
4 National Sleep Foundation, and all of the others. There is
5 no other transportation group anywhere in the world that is
6 addressing fatigue like the North American railroad industry.

7 So this gets a little murky, but I think we've had
8 some of our folks at the National Transportation and Safety
9 Board making noises about how railroad engineers can work 432
10 hours and truckers can work 250 hours and an airline pilot
11 can work a maximum of 100 hours per month, and isn't this
12 terrible as far as what railroad engineers are allowed to do.

13 Crew change requirements, this is hours on duty,
14 maximum per shift. Railroad engineers are 12 hours.
15 Truckers are 15 hours on duty. The new Motor Carrier Safety
16 Administration proposal is a trucker will be allowed 12 hours
17 on duty. An airline pilot on duty is allowed 15 hours. 15
18 hours. Okay? Barges are 12.

19 Now, as far as operating the locomotive, the
20 aircraft, the barge, the truck, railroads are 12, the
21 existing motor carrier can operate ten hours out of 15 on
22 duty. 12 and 12 for both the proposed motor carrier and
23 barges, and the pilots can fly eight. Fly eight, on duty at
24 15. That is from push back at the gate to engine shutdown at
25 the gate. That's what that means. Okay?

1 So, I mean, the pilots, and I've got a lot of good
2 friends who fly and, you know, they live in exotic places,
3 and they'll fly for hours to get to their job, and they'll go
4 to their job, you know, and they can only fly for eight
5 hours, but they can be on duty for 15, but they have no
6 requirement about where they come from or how long it gets
7 to.

8 So we were singled out in the railroad industry,
9 unfortunately by a few, because of this. It says theoretical
10 maximum hours per month. Well, our hours of service
11 regulation says that if you work 12 and were off eight--
12 worked 12 and were off eight, theoretically, you could work
13 432 hours a month. Truckers could work 250 hours a month.
14 The new proposal is they can work 300. Theoretically, on
15 duty, an aircraft crew can be on duty 420 hours a month, and
16 350 for the barges.

17 Operating--this was on duty, I'm sorry--operating,
18 theoretically, 432, you know, 280. 300, they can only
19 operate 100 hours a month, and this is where the railroad
20 employees operate 432, and you can fly 100 hours per month,
21 350. When in reality, this is what the distribution looks
22 like for TE&Y employees that are out here.

23 By and large, for the 160 or so hours a month, or
24 170 that most 40 hours of work, four and a third weeks, et
25 cetera, 172 hours, that's where the vast majority of our

1 people are. Yeah, we have a few out here, and these are the
2 ones that we are working with our labor organizations to
3 address.

4 We have agreements that provide you can get so many
5 miles per month, so many hours per month. They're agreements
6 from the late 1800s, things that were working, and we are
7 working very closely with our labor organizations addressing
8 this. But by and large, the vast majority of crews that
9 operate your trains on our railroads in this country are
10 operating within, you know, 160 to 200 hours per month.

11 Now, just some of what we're doing, one of the
12 major things that we're addressing now is crew resource
13 management. NTSB recommendation in 99-27 following a fatal
14 train collision at Butler, Indiana on March 25, 1998, develop
15 for all train crew members, crew resource management training
16 that addresses crew member proficiency, situational
17 awareness, effective communication and teamwork, and
18 strategies for appropriately challenging and questioning
19 authority. I'm sure many of you have heard of this last one,
20 the Korean airliner that went down over in Guam, and all of
21 these others. You hear these things around.

22 This accident, by the way, is there was Norfolk-
23 Southern had us, had and has a requirement that new engineers
24 have mentors, and that they only go to work with their
25 mentors. Well, it turns out that when this new engineer

1 reported for duty the night of this accident, his mentor had
2 laid off due to some family illness or something, and another
3 engineer took it. Well, he wasn't supposed to work unless
4 the mentor was there, but they, you know, oh, come on, let's
5 go.

6 Well, it turns out the other engineer sat over
7 there reading a book, and the way the territory was, that the
8 engineer, the new engineer was not familiar with the
9 territory, missed a signal at an interlocking, ran through
10 the conrail train and the conductor was killed. So NTSB said
11 that you guys in the railroad industry need to get after crew
12 resource management.

13 What we have done is we looked around. We do not
14 suffer from not invented here. We looked around and we said
15 what are the best practices out there in military and
16 aviation. It turns out Southern Pacific, before the UP
17 merger, had done a portion of a crew resource management
18 based on US Air, based on American Airlines, based on the
19 military, with a lot of the in cabin flight crew examples
20 that they show in crew resource management for aviation.

21 So we, with their permission, plagiarized that and
22 brought that into the railroad environment. Well-developed,
23 structured training exercises, performance measures and
24 feedback mechanisms. The results. In aviation, there had
25 been 8 to 20 per cent more teamwork behaviors by cockpit

1 crews that have been trained on crew resource management
2 rather than not.

3 And as we have found, those of us in the safety
4 business over the years, rarely is there one incident that
5 causes an accident. It is an accumulation of incidents that
6 all of a sudden the crew awareness is not that we have this
7 accumulation of small incidents, and one or two is just
8 enough to cause a significant problem.

9 In any event, what we have done in the railroad
10 industry, and this is within the last 60 days that we have
11 put this out, customized for each railroad, offered free to
12 the short lines and others, free throughout the North
13 American industry, we published the Crew Resource Management
14 manual, about that thick, produced a video for wide
15 distribution, again, customized for each of the larger
16 railroads, begun training of the train and engine crews,
17 worked closely with FRA, BLE, UTU, short lines and others in
18 designing this program and implementing it throughout our
19 industry.

20 What other things are happening? We've had, and we
21 will continue to have because safety is good business,
22 massive safety programs for all employees. There was a piece
23 in some of the documentation about how our federal government
24 has been responsible for the significant improvement in rail
25 safety over the years. I would submit to you that the

1 federal government is a part of improvement in safety. The
2 railroads and their employees have done a significant amount
3 of improving safety in this industry in the last 20 years.

4 T&E crews, signal and train dispatchers, all of
5 these have random and post-accident alcohol and drug testing.
6 We are the lowest in the industry, less than one-tenth of
7 one per cent positives on drug and alcohol.

8 Operating rules training. Every other year,
9 massive training on simulators, et cetera. So there's a
10 significant training effort that goes on with our safety
11 programs.

12 So in conclusion, our safety record is very good
13 and we're striving for continuous improvement. North
14 American railroads are in the forefront on industrial
15 research and application on fatigue.

16 But I would offer to you science and flexible
17 application, not regulation, is what guides fatigue counter
18 measures, and understanding what fatigue, the part that it
19 plays in safety. There is no one size that fits all.

20 And, finally, as the Crew Resource Management
21 Module we show, we have no pride. Anything that can improve
22 safety, such as we're willing to reach out to aviation and
23 the military and others through our oversight advisory board,
24 we're willing to do to improve safety in the industry.

25 So, John, that's the fatigue and human factors

1 piece. I'd be glad to take any questions.

2 ARENDT: Questions? Excellent presentation.

3 DETTMANN: Thank you.

4 BULLEN: Bullen, Board. I'd also like to echo John's
5 comments about the excellent presentation, and found it very
6 informative.

7 I guess the question I have is with regard to the
8 data that you have on accidents. Do you find that--well, I
9 guess it's a mix. Do you have dedicated trains that have
10 hazardous materials on them associated with it, and do you
11 find that the fatigue or the awareness of a dedicated train
12 would be greater or less than that of just a standard
13 shipment?

14 DETTMANN: It's not that simple. We have what we call
15 key trains, key trains that have a percentage of hazardous
16 material on them that take special precautions in operations,
17 not unlike dedicated trains. The key trains are in regular
18 pool service. Okay? As I mentioned, the crews, when you get
19 up to a first out, you know, if it's a key train, you take
20 it, and our crews, when they have the potential of catching a
21 key train, Hazmat train, they get additional training in
22 that.

23 Now, dedicated trains can be either pool crews or
24 dedicated crews, and that is something that we work out.
25 It's just like the comments that Ray made earlier. Sometimes

1 they run them through Kansas and Colorado, the UP does, west
2 from Kansas City, sometimes they take them up over the
3 Marysville Sub. A lot of it is crews, what the crews
4 availability, and things like that.

5 We have not, as of this point in time, said whether
6 dedicated crews are safer than regular crews. I don't know
7 how we'd get to that. However, we have underway a
8 significant study on the relative safety of a dedicated
9 train, such as what Bob is going to be speaking to with our
10 performance standard, not in the past, what a dedicated
11 train, because of the new technology and the changing
12 environment that's around us, what that means versus the
13 regular train service.

14 BULLEN: Just a little followup on that. You mentioned
15 fast trains and slow trains. And if we have a dedicated
16 train for a nuclear waste shipment, for example, and it's a
17 slow train, does that really fowl up everything else in the
18 entire system?

19 DETTMANN: It can. It can. Our preference is, because
20 we design a system that works together, which is what you'll
21 be seeing, that we operate those trains and they will be
22 capable of maximum track speed. One, there's less exposure
23 for the material. Number two, if we've done the testing
24 right and we've got all the instrumentation that you'll see,
25 it will be a safer shipment. There is no need to have the

1 1970s style requirements that we brought in when we didn't
2 know a lot. A lot of other folks did. As Ray's safety
3 performance shows, we've done a lot together over the last 30
4 years.

5 But where we've had, what, 700 since 1956, we're
6 going to be having 400 a year for the next many, many years
7 out here. There is a C change of volume here in, and I'm
8 sure all of you that read the papers know that there's
9 congestion and some problems in the railroad network from
10 time to time, that when you put a train out there when you've
11 got everybody else running 60 and 70 miles an hour, and you
12 put one up there at 35 miles an hour, all it's doing is going
13 in and out of sidings. And that is not the safest way to
14 operate a railroad.

15 BULLEN: Thank you.

16 ARENDR: Paul?

17 CRAIG: Paul Craig, Board. I'd like to ask you to
18 expand a little bit on the idea that you mentioned that you'd
19 need a series of events, or usually find that there's a
20 series of events that lead to a disaster, or lead to an
21 accident, would suggest you get some warning signals. And I
22 was intrigued by the remark, and it has a number of
23 implications to it that I can think of.

24 DETTMANN: Well, let me give you a couple of examples.
25 One, the one in Indiana, number one, the mentor wasn't there.

1 Number two, the new locomotive engineer did not insist when
2 he got to a point where he was uncomfortable, he didn't know
3 where he was, and this was at nighttime now, this was at
4 nighttime on an intermodal train running 70 miles an hour,
5 that he lost where he was. Then there was the long end of
6 the engine was running forward in a left-hand curve, so he
7 couldn't see the signal. Rather than I want my mentor or you
8 take the train, number two, you're not my mentor, but you sit
9 with me.

10 Number three is the conductor was over there and he
11 was not performing his duty, looking out for the signal,
12 what's the signal that's coming, or I'm lost where I am, I
13 sit down and take the train. All of these things, just like
14 there was one of the more stark examples of the crew resource
15 management in aviation, is that here's the flight crew and
16 they're taking off, and the bells and whistles go off.
17 Engine failure. And so they're doing all of this stuff, and
18 engine failure, and all of a sudden they're calling out
19 things in code rather than the right language. And it was
20 check the engine for shut down, but which meant which engine
21 is shut down, rather than the co-pilot was reading it out and
22 the captain was sitting over there and he reached up and he
23 turned off the engine that was working.

24 So we had an engine failure on one, and the one
25 that was working, because of the lack of communication, and

1 these were pieces that fit together, and this is where
2 situational awareness and crew stuff is, if you begin to see
3 these things come up, you say woah. You begin to challenge
4 authority, that the engineer on the Norfolk-Southern train
5 did not challenge authority.

6 The 747 KAL that went down in Guam, the other
7 members of the crew, which there was a relief captain and
8 there was the co-pilot and flight engineer, all knew they
9 were--that, number one, the ground proximity warning was out
10 at Guam. Number two, it was in a storm. And, number three,
11 they were flying too low without it, but none of them spoke
12 to the captain because he was an old Korean Air Force, you
13 know, rough and tumble guy, didn't challenge the authority of
14 the captain, and they went in.

15 So these are the pieces. When I say that, there
16 are small things that if you are trained to look out for, can
17 lead up to where you're at the point of no return, and that's
18 what the whole crew resource management piece addresses.

19 ARENDT: Any other questions?

20 (No response.)

21 ARENDT: I guess not.

22 DETTMANN: Okay.

23 ARENDT: Thank you very much.

24 DETTMANN: Thank you. Glad to be here.

25 ARENDT: Our next speaker is Garrick Solovey from the

1 precision Components Corporation. Garrick has been employed
2 by PCC from 1966 through '83, and he rejoined in 1996, and
3 his current position is vice-president, Corporate Business
4 Development, Strategic Planning. He has 25 years of
5 operations management and technical responsibility. He has a
6 BS ME from Drexel University, and a master's in Engineering
7 Science from Penn State. He's a professional engineer in
8 Pennsylvania and Virginia. He's received a number of awards
9 in professional activities from ASME, and so on.

10 Garrick, we're glad to have you this afternoon.

11 SOLOVEY: Thank you very much. It's certainly a
12 pleasure to be here.

13 The degree to which we let human factors influence
14 the outcome of any activity is really a measure of tolerance
15 for risk. And, of course, in this business, the nuclear
16 industry, there's very little tolerance for risk. And what's
17 I'd like to do over the next few minutes is describe how,
18 during the manufacturing process, we control, manage and
19 direct human factors to our benefit. I'd like to, and I
20 guess it's appropriate, to have a little disclaimer that my
21 comments certainly reflect those of my experience in the
22 company, and there are several good fabricators out there who
23 I certainly would probably share very closely the thoughts
24 which I'm expressing today, and I would have no qualms at all
25 about going to them and putting work into their facilities.

1 But as this market begins to grow, there's going to
2 be people that will want to get into this market. The
3 industrial base in this country, particularly in the basic
4 industries, both in welding and machining, is not at the
5 levels it was 20 or 25 years ago. So I think at this point,
6 we're going to start to see some new folks get in, because
7 there is a market there, and they feel that there's
8 opportunity. But possibly you could use this presentation as
9 a benchmark to compare it against new folks coming in and how
10 they might approach the manufacturing business of casks.

11 And by the way, even though this is geared to
12 transportation casks, I would say that you could apply this
13 to currently the storage cask, and most any nuclear-related
14 manufacturing.

15 Basic discussion. I'd like to break the discussion
16 basically down into some discussion on transportation cask
17 characteristics, talk a little bit about four aspects of
18 quality, which is directly relatable to this subject, talk
19 about how we look at controlling and managing human factors,
20 what are the challenges, what are the success factors that a
21 manufacturer can achieve will give a good product, a product
22 that certainly meets all the quality and customer
23 expectations, and then summarize and talk a little bit about
24 the results of the discussion.

25 Transportation cask characteristics. PCC was

1 formerly an Allis Chalmers company, and we've been in the
2 nuclear business for over 30 years. In fact, during Mr.
3 English's presentation earlier, he showed you an M-160 cask,
4 and that was our entre into the cask business. As long as
5 everyone is sharing how old they are, that was my first
6 assignment when I got out of college, was to work on that
7 project. Really a sobering thought how many years ago that
8 was. But that cask has been around for 30 years, and in
9 operation.

10 Since that time, we've probably built over 150
11 different types of casks and canisters of all different types
12 and materials and constructions, and that's one of the things
13 I want to talk about. But most recently in the early
14 Nineties, we really began heavily into the commercial nuclear
15 aspect for the utility business. So we still do work with
16 the Navy, but the cask business and container business right
17 now represents about 60 per cent of our business.

18 This schematic represents a TN-68 dry storage cask.
19 It's mislabeled, in that now it's also going to be a
20 transportation cask. These are casks that we're building for
21 Pico Electric. We've delivered three of them so far. This
22 cask will be used on their site for their dry storage cask
23 program, with the option to be able to transport.

24 TN has a variety of different casks. We built the
25 TN-32s for Virginia Power and the TN-40s for Northern States,

1 and some TN-32s for Wisconsin Electric, and it's a very
2 economical design, good use of materials.

3 As you can see from the description, we have
4 combinations of gamma shield, which is basically a carbon
5 steel inner shell, which is shrink fit into an inner
6 stainless steel shell. That full length is shrink fit. We
7 actually heat up components in the oven, in our furnaces,
8 before we put these units together. We did stick the first
9 one, but we've built 50 since then, and I think we've learned
10 how to do that fairly well.

11 The outside, there are aluminum boxes which contain
12 neutron shielding material, which is a resin type mixture.
13 You can see there is a closure, a bolted closure design,
14 which is certainly critical to function. The trunnions, in
15 some cases, they may be welded on or bolted on, which is also
16 an important feature to safety.

17 Internally in this cask, there is a basket. The
18 basket also is very critical. Baskets come, there's
19 different designs, this particular basket is a combination of
20 layered material using borated aluminum between the cell
21 sections. So this particular cask is very popular. It was
22 licensed several years ago as a storage cask. Now it's
23 moving into the transportation arena also, and we see that
24 this could be a very good economical solution to both storage
25 and transportation in the future.

1 This is a picture of how the cask looks when it's
2 put together. You can notice it's painted, and this is
3 basically the transport frame that is used for transport. We
4 typically transport these by truck. This cask is a 100 ton
5 order of magnitude, and fully loaded--one of the things, too,
6 which constrains utilities is the ability in their fuel
7 buildings to be able to handle things much over 100 tons.
8 Some utilities would not even be able to use this. That's
9 why they're going to the canister design.

10 Here's a schematic of the M-140, which you saw
11 earlier. This design, very simple, straightforward. As you
12 can see, it's 14 inch thick stainless steel, very simple
13 structure, a monolith, so to speak. The original M-160, as
14 was mentioned before, was basically two--was inner and outer
15 shells with approximately six to eight inches of lead for use
16 for shielding. Lead does have its issues. Pouring lead is
17 more an art than it is a science in many regards. You also
18 have to be able to gamma scan that lead, and not too many
19 companies can do it. You need a facility where you can put
20 the component and be able to do a fairly good gamma scanning
21 inspection of it.

22 Additionally, lead is not the most popular
23 environmental material these days. Originally, we did the M-
24 160 internally in our shop. But because of the environmental
25 concerns, as we do lead pouring now, we'll send those out to

1 be done.

2 Externally, you see they have fins for heat
3 transfer dissipation. As you notice with these casks, you
4 know, you typically have the structural integrity issues, you
5 have the thermal transfer issues, and then you have your
6 shielding issues.

7 These casks are very large, as you see in some of
8 these pictures, but they're not pressured, they're not what
9 you would call serious pressure retaining components.
10 They're basically a containment component, which the inner,
11 in the case of a multi-layer, the inner wall really is your
12 containment boundary, and that's the key factor in that
13 design.

14 This cask is a 100 ton cask, this is the cask on
15 our 150 ton crane going to our machine shop area. There's a
16 lot of both welding and machining challenges with this.
17 Putting those fins on is not an easy task. Going from the
18 lead to the monolith required us to look at narrow groove
19 welding as an approach to put this unit together. So in some
20 cases, you trade off one fabrication challenge for another.

21 Now, most of these heavy wall casks, too, the other
22 thing that we face as a fabricator is material. On a
23 structure like this, you go to forgings where you have a
24 built up section. Where you're dealing with thinner wall,
25 you can go to rolled plate. Forgings, in this country, we've

1 lost a lot of our ability to make forgings in this country.
2 We go overseas, we go to Cruessot Morrel, we go to Forge
3 Masters, we go to Hanjong (phonetic) in Korea. We can go to
4 Japan. The big forge shops in the United States do not exist
5 anymore. So we as a manufacturer, we are certified NCA 3800.
6 We go over and audit these facilities. But it takes about
7 six months to get forgings, and the material requirements are
8 very stringent, so we have to make sure that the material we
9 get has the proper traceability, and it's correct as it's
10 received in our shop.

11 In the whole scheme of things, material generally
12 represents half of fabrication costs, and a big portion of
13 our ability to deliver a product. A heavy wall cask like
14 this could take 18 to 24 months, with six months being to
15 receive the forging material.

16 This is another shot of the M-140 on rail cars as
17 it was leaving our shop.

18 Probably the most complex cask we ever did was for
19 the Japanese. We were the first American firm to actually
20 build transportation casks. NFT is nuclear fuel transport.
21 They are a consortium of Japanese utilities. They purchased
22 40 casks. We completed nine casks for them in the spring of
23 '98. These casks will be used to transport fuel from the
24 various plants to Rokkasha, which will be the reprocessing
25 plant.

1 The cask itself, the body is stainless steel.
2 You'll see an inner chamber here with copper fins used for
3 heat transfer. We poured resin in between those channels.
4 To actually to be able to weld the copper fins which extend
5 the full length, we had to develop an optic system. We
6 actually had cameras inside. We actually welded this thing
7 vertically with cameras that looked at the front and back
8 wash of the weld to be able to inspect that.

9 It also has fins on it, external fins, which was a
10 major challenge in putting those fins, meeting the tolerance
11 requirements and so forth. It's a bolted closure, has
12 trunnions, which were bolted, and we provided the impact
13 limiters for shipment.

14 The impact limiters is another testy challenge for
15 many manufacturers. Impact limiters, as you know, are
16 usually a thin type material, usually stainless steel, and
17 internal to the impact limiters, there are various options,
18 use a honeycomb design for crushing. Some people use tubes,
19 aluminum tubes. Others may even use plywood. In the case of
20 the Japanese, they use plywood.

21 You can see here also there's a basket which I'll
22 talk about in a minute, but this particular cask was an
23 extreme challenge. It took over two years to manufacture one
24 individual cask, a lot of forging material, plate material.

25 You talk about inspections, on a particular cask

1 like this, we did three inspections for every hole point. We
2 did one for ourselves with their resident inspector there,
3 and then we did an inspection with the NFT people there, and
4 then we did the same inspection with their STA, which is
5 their science and technology equivalent to NRC. They came
6 over and we repeated the inspection three times. So we did
7 get experience in dealing with the Japanese.

8 As you will notice on this sketch here, this was
9 the size, 150 tons, notice the high polish. Japanese require
10 these to be a mirror finish, though admit that it doesn't
11 mean anything relative to what it does, but they want a high
12 polish on it, because to them, that means quality. So we
13 provided the frames and the cask.

14 This is the basket, interesting design. It's
15 borated stainless steel. Borated stainless steel is not
16 permitted in designs in the United States, but it is
17 permitted in Japan. It's an egg crate design where you
18 actually water jet cut the various structures, put the plates
19 together, and then put tie rods and weld corner braces on.
20 This particular basket was an interesting challenge,
21 particularly after you get through the first basket. But the
22 borated material in itself, whether it's borated stainless
23 steel or borated aluminum, there's an issue whether isotropic
24 material, it does tend to move on you. Tolerances are tight
25 to hold. We were able to find with water jet cutting and not

1 machine, we were able to hold the tolerances that were
2 required.

3 There are other different types of construction.
4 Today as we speak, one of our casks, MP-187, which is the
5 Vectra design, is being received at Ranchosico (phonetic) for
6 SMUD. That design was a combination of resin and lead. So
7 you run into, as you get into these various fabrications,
8 different types of materials of construction. Sometimes you
9 could do it with plate. Many times you need forgings. You
10 get into dealing with resin, how you deal with that, how you
11 deal with lead, deal with fins, to deal with the design
12 requirements.

13 We as fabricators these days, things have changed
14 somewhat from what they were when we designed and built the
15 M-160. There are now designers out there who actually will
16 come to fabricators to have these things built. There are no
17 fabricators that actually do the whole design build anymore.
18 In Japan, it's a different story, where the actual
19 fabricators like Mitsui-Zosen and Hitachi-Zosen and Kobe and
20 so forth, Mitsubishi, they will actually design and build.
21 So in this country, we have designers, who then provide to
22 the fabricator a specification package, and it's almost
23 treated as a build to print project.

24 Ishikawa basically said that there were four
25 aspects of quality. Quality is how we meet the technical

1 requirements and expectations of the customer. Cost, how
2 efficiently we can build the product. Delivery, what our
3 performance would be in providing that product. And then
4 service, how do we deal with it after the product has been
5 completed and in the field. And I'd like to kind of--those
6 are kind of key drivers in this discussion relative to human
7 factors.

8 There's no doubt that human factors influence these
9 aspects of quality. Most of the technology to build casks
10 exists. Now, with some fabricators, more so than others,
11 some do not have those capabilities. But like anything else,
12 those can be learned. The issue I think we all face is how
13 do we meet, through the people we have and the things we
14 have, how do we achieve those aspects of quality in our
15 operations.

16 When I tried to jot down examples of human factors,
17 these are probably the key ones that come to mind. Certainly
18 competency and expertise of the fabricator is extremely
19 important. As the market starts to mature and there's more
20 repeatability of work, the more you learn, the more you can
21 take advantages of your initial investment in learning how to
22 make these, developing new processes, new technologies. But
23 competency and experience, there's nothing that replaces that
24 for a fabricator, particularly in this business, to get that
25 repeatability of making these.

1 Material procurement and traceability. I mentioned
2 that before. That's as critical as actually making the cask,
3 is finding material suppliers that can meet the quality
4 requirements necessary to begin production, providing the
5 certified material test reports, doing all the preliminary
6 testing that needs to be done, making sure that all quality
7 requirements were met during the forging process or the plate
8 process.

9 Work instructions and communications. Here again,
10 internally, the people that are in the shop have to have
11 clear instructions on how to fabricate, how to manufacture,
12 how to machine. This is a critical link to making sure that
13 you end up with the product that you want.

14 You also have to have the workmanship and
15 craftsmanship. Certainly these are skills that are certainly
16 being lost in this country, but the folks in your shop are
17 very key in having the right craftsmen and the workmanship.
18 Welding is not just something you do and magically you get
19 results. Welding is an art also, and welding is extremely
20 key, particularly on the containment boundary. Without good
21 workmanship and good quality welds, the product is
22 meaningless. There are ways to do it manually certainly, but
23 there's also ways to do automated processes to become more
24 efficient and more repeatable. Automated process are
25 certainly more preferable over manual techniques because you

1 do get that repeatability.

2 Honesty. I can't emphasize that enough. I kind of
3 equate quality actually to an honest product, and that's what
4 I mean, is you have a product that meets every expectation
5 that you've been contracted to fulfill, and the people in
6 your shop, I'll talk about that a little later, have to be
7 honest, and you have to be honest about what you're doing and
8 honest to your customer. Bad news is better than no news.
9 You have to be honest in everything that goes on in your
10 fabrication.

11 And the priorities in production, and this will
12 relate back to discussion on the commitment of management.
13 You do not shift anything. That's what quality guys keep
14 telling me. We do not shift anything for the sake of
15 schedule, and that is the first rule. Priorities in
16 production as to what's important and why we're doing what
17 we're doing.

18 I guess if I were to answer the question how do we
19 control factors in manufacture, I'd look at probably four
20 building blocks, which I'll talk about. The identification
21 of the technical requirements, that's the foundation.
22 Certainly the establishment of the quality systems and
23 procedures, that's the operation that verifies and puts the
24 stamp on it and says yes, we've built this product, it's met
25 our expectations, and it's monitored the fabrication of that

1 product through the shop.

2 Independent oversight is an area more and more
3 we're seeing where there's more requirements to have third
4 party review. I think depending upon the performance of
5 certain fabricators has forced this issue to come to the
6 forefront, and we'll talk about that also in some of the
7 additional requirements that are being passed down. And then
8 finally develop training and culture. You don't quickly get
9 into this business. You have to have a culture of people
10 that really understand what the expectations are, and you
11 have to train those people to understand that. And whether
12 it's in the office with the engineering people or in the shop
13 floor, that becomes a big investment because that's the
14 investment of your future, and we'll touch on that also.

15 When we look at the technical requirements, we see
16 that we begin with design documents and licensing, and those
17 are the documents that are the basis for development of the
18 fabrication specification. And the specifications, that's
19 where we start as a fabricator.

20 We then take that, we apply to it based on the
21 spec. those industry codes and standards that are required.
22 I think things today are starting to move, that we're
23 starting to get some standardization in some of the
24 fabrication areas, particularly I'll talk about the ASME code
25 in a minute. Equipment up to now has been built to the code,

1 but it's been done by picking certain aspects of it, certain
2 sections, maybe a section to requirement for welding, and a
3 requirement for certain examination.

4 Fabrication planning and procedures, this goes back
5 to communications. These are your documents that the people
6 on the shop floor see. They have to be clear. They have to
7 be understandable. And if they're not, it's a place for
8 disaster.

9 So let me talk a little bit about the ASME code.
10 The NRC about a year ago was very concerned that there was
11 not the third party oversight within the fabrication shop,
12 and they figured well, you know, let's invoke the ASME code.
13 The ASME code has been around for a hundred years. It
14 started a hundred years ago on a boiler explosion in Boston,
15 and since that time, it's become the bible for pressure
16 vessel design and fabrication.

17 Additionally, it's been something that provided the
18 authorized nuclear inspector an independent third party, and
19 the requirement that the fabricator provided a stamp on that.
20 But we're in a little different case here, is that these
21 particular casks are really not for high pressure
22 applications. We're focusing on containment boundary, which
23 is the key factor.

24 Additionally, the code really doesn't address all
25 the other things. The code does not address neutron

1 shielding, lead pouring. Those are not really part of the
2 containment boundary. But nonetheless, by taking code and
3 bringing it to a standard, we can now focus at least in this
4 aspect on making sure that the containment boundary will be
5 satisfactory.

6 There's a major rewrite going on. I have the
7 privilege of being vice-chairman of Division 3, which is the
8 new section of the code for this type of component, and I
9 chair the WA section, which is on general requirements.

10 General requirement section will be adopted
11 probably at our September meeting, which will deal with how
12 the responsibilities are placed with regard to the owner, the
13 fabricator, and the designer.

14 WB and WC, these are a new section on
15 transportation containments. Notice we've gone to the word
16 containment. WC did exist, but that's also being revised.
17 These will be very comparable to NC-3200 design by analysis
18 section for Section 2 components in Division 2.

19 Let me just say a couple remarks with WA. WA,
20 which will be adopted this fall, will exist in the following
21 form. The organization that has design responsibility will
22 be required to have the certificate of authorization, i.e.
23 the N-stamp. So whoever is doing the design will be
24 responsible, whoever has design responsibility. So typically
25 a designer will apply to the society, get their certificate.

1 It could be a utility who decides to take design
2 responsibility on an existing design, but there's where the
3 responsibility held.

4 As a fabricator who does the basic construction of
5 the component, we will have an NPT stamp, and those that
6 might do, in cases where you have a field closure that's not
7 bolted, but welded, whoever does that will also have to have
8 an NPT as a minimum. And that we'll start seeing next year
9 in the new edition of the code.

10 WB/WC, I would expect to be available sometime next
11 June, and they will clearly define what the design
12 requirements are as far as normal operating and upset
13 conditions.

14 The authorized nuclear inspector will play a key
15 role now. And right now, I guess there's been a
16 consolidation in that industry now between Kemper and
17 Hartford. They will come in, and in the past when you're in
18 this business and you were doing a job, brought the
19 authorized inspector in and you agreed on several hole points
20 during the fabrication process. These guys will be full-time
21 in your shop right now, and that's where that's headed. So
22 as far as impacting the cost of the fabrication, this will be
23 major cost. And then of course the N-stamp, and the N-stamp
24 will be you signing off and stamping the component saying
25 you've met the requirements of the code.

1 As I mentioned earlier, quality systems and
2 procedures, I always kind of viewed the quality system as it
3 being the oversight internal watch dog of the company, having
4 the program to whatever standard, NQA-1, 858, whatever, to be
5 able to say this is how we're going to do business. This is
6 how we're going to preclude situations that are going to be
7 unfavorable, minimize our mistakes and how we're going to
8 fully verify and document that we've built these components
9 in strict accordance to the requirements.

10 Additionally, too, fabricators make mistakes, and
11 there will be mistakes. The key factor of any good quality
12 program is that those mistakes are found before that product
13 ever gets too far down the line, or leaves the shop. And I
14 think that's the key success factor. If your quality program
15 picks that up, and we're going to talk a little about the
16 culture later, about even the people that are not quality
17 related.

18 Inspection, acceptance testing, we've got
19 acceptance tests now that are much more involved than they
20 were in the basic primary system components. Helium leak
21 tests. Since we're dealing with components that really are
22 pressure containing and you're more interested in
23 containment, Helium leak tests, Helium, as we know can seep
24 through anything, and that's probably a more effective test
25 in the long run than actually doing a pressure test.

1 Pressure tests, from the standpoint of pressure vessels, you
2 pressure the thing to one and a quarter or one and a half
3 times the design pressure. That was to get everything to set
4 and seep, get your mating surfaces together, get all the
5 local deformations. You really don't need to do that with a
6 shipping cask. What you're looking for there is that the
7 welds will not leak, and you can do that with a Helium leak
8 test better than you could ever do with a pressure test.

9 Documentation. When we ship one of those casks for
10 TN, we have a documentation package which we call a history
11 book, it's that thick, with every component with ship.
12 That's required. That's required by the designer and the
13 customer. That book has the total history from the material,
14 CMTRs, all the way to the final testing and sign off. We try
15 to do those things as we do the fabrication, and get them
16 signed off. But that document gives you the ability to go
17 back ten years from now to look back and find out how that
18 component was made if there's a question.

19 In fact, the x-rays are there. You can go back and
20 look at all the welds that you had to x-ray on the
21 containment boundary to see if there was any changes.

22 Training and culture. I can't emphasize this
23 enough. People getting into the business now who don't have
24 a nuclear mentality or nuclear background many times can't
25 appreciate this. Proper attitude of the workers, and I don't

1 care if it's the guys in the shop or the engineering
2 department. We have a thing in our business where no one
3 does anything or turns anything over to an inspector until
4 they are sure that that product is right, whether that's the
5 machinist who can inspect that part on the machine before he
6 turns it over to the inspector, or the welder. The welder
7 knows if he put a good weld in. Now, there may be some
8 little inclusions that will get picked up later on in RT, but
9 he knows if that weld is good, and our welders will not turn
10 over that part to an inspector if he thinks there's a problem
11 with it. They'll bring it to the attention of the
12 engineering organization to immediately address it. And
13 that's just good business, too. The quicker you get on it
14 and take care of the issue, the better you are.

15 Understand the customer's expectations. We do a
16 workshop every year at our place. We invite material
17 suppliers, customers, other fabricators in. And the first
18 year we did the workshop, we wanted to understand what makes
19 a successful project. And understanding a customer's
20 expectations came out on the list every time. If you don't
21 understand the customer's expectation, boy, what are you
22 working to. That is a key factor.

23 Management commitment. Let me give you a couple of
24 examples on that one. We have had four NRC audits in the
25 last five years. Now, the NRC really doesn't come in and

1 look and do detailed inspections. They come in and look at
2 your program and everything else like that. They came to the
3 president of the company and said, John, would your people
4 ever sacrifice shipping a product over quality? John said
5 absolutely not. And you could go talk to anybody out in the
6 shop floor, and they went out to three people and they got
7 the same answer. We would never ship anything for the sake
8 of schedule over quality. And that's when you talk about
9 culture, when people would say that.

10 Now, another case is also on our routings and shop
11 followers, there's statements on our routings that say,
12 "Falsification of any data is a criminal offense." Our
13 people know that if they put anything wrong down, that is a
14 criminal--that's criminal. They're lying. We do not
15 tolerate it. If it ever happens, that person is out on the
16 street, and it's not that--that kind of business does not
17 exist in our company.

18 Everybody can't pick up everything. Let me give
19 you an example of what we did on welding, for instance. 25
20 years ago, one of our customers, who will go unnamed, came to
21 us and said, hey, how do you know that welder is qualified to
22 make that weld? How do you know he used the right weld wire
23 material? How do you know that that inspector who inspected
24 that weld is qualified? We developed a barcode system 25
25 years ago, which that welder on his badge has a barcode. He

1 goes in the computer on the shop floor, swipes it, and that
2 tells him if he can go make a weld. He can't go get weld
3 wire unless that passes through there. And the inspector
4 cannot inspect if he's not qualified to be that kind of
5 inspector.

6 So it's not all up to the people. You still have
7 to put things in place which help people do their jobs. It
8 is very conceivable that a guy who's qualified to do an
9 overhead weld, he's one day past his qualification period.
10 That could happen. That could happen in any shop. But this
11 system will preclude those things from happening. It makes
12 it idiot proof. So you have to help your people. It's the
13 management commitment.

14 You develop the skills. You give the people, you
15 teach them how to do it. We have a weld lab where they go,
16 and they're not turned on the floor until they know how to
17 make that particular weld. You've got to give them the
18 resources, give them the right tools. You've got to give
19 them good technology. But most important, you've got to have
20 everybody thinking along those lines. Quality is extremely
21 important, and if we do things wrong, we're going to put
22 ourselves out of business, and that's the last thing we want
23 to do.

24 The independent oversight. This is a real issue
25 that's affecting everybody in this particular business. And

1 let me just kind of touch on this. Internal quality control.
2 That comes without saying we have internal quality control.
3 We have regulators. We have the NRC who comes in, as I
4 said, four times in five years to see what we're doing.
5 Customer inspectors, these are the designers, the
6 transnuclears, the hole techs, might be NAC, or someone like
7 that, someone who's in the designer. They have full-time
8 resident inspectors in our shop.

9 We have owner's inspectors. We've got Virginia
10 Power. We've got Wisconsin Electric. We've got Northern
11 States Power. We've got Philadelphia Electric. They're all
12 in our shop. We had to open up a floor of our building for
13 over 15 resident inspectors, providing them telephones, fax
14 machines. We also have our government representatives there
15 also. So it's very intrusive oversight of what we do. It's
16 there.

17 The authorized nuclear inspectors, that's coming,
18 but in fact SMUD decided they're going to do that ahead of
19 time. We have two ASME code full-time authorized nuclear
20 inspectors in our shop also, people watching over everything
21 we do all the way down. We welcome this, though. We're not
22 going to oppose it. Our shop is open. In fact, as I was
23 mentioning, NRC came up two weeks ago and they're doing a
24 video in our shop of the fabrication process. We want people
25 to come in our shop. It's an open shop. We're not going to

1 hide anything. They can go and talk to anybody on the shop
2 floor, and we trust our people to have the right answers and
3 know what they're doing. That's the kind of culture that you
4 have that you can feel comfortable with an independent
5 oversight.

6 The last point, the EPRI guidelines. That's
7 relatively new. Here again, about a year ago, I think NRC
8 realized in several discussions that the ASME code is not
9 sufficient to deal with all the other areas. Had an
10 opportunity to sit on the task force at the Nuclear Energy
11 Institute working with EPRI to develop this document. This
12 document will also be available in September. It will be
13 provided as a guideline by EPRI for use in the industry. And
14 what this does, it looks at everything from cradle to grave
15 of everything from the licensing down to the final testing
16 and acceptance of these components.

17 It looks at the planning, fabrication, examination,
18 testing. Originally, NRC wanted us to find someone who had
19 absolutely no special interest or conflict of interest of
20 doing oversight. We had a meeting with the NRC in early
21 June, in which we presented an approach, in which at the
22 beginning of the job, the fabricator, the designer and owner
23 will sit down and they will define this oversight program,
24 and there will be a primary responsibility for a certain
25 operation. That typically would be the fabricator.

1 And there's a secondary responsibility, and then
2 there will be the third party who will check what the other
3 two have done. And that program is now, as I said, would be
4 available. It's something that some of the utilities are
5 already starting to look at and do, and this will provide
6 another vehicle for third party oversight. Without a doubt,
7 it will be costly, but I think in the long run, it's going to
8 be fairly efficient.

9 What we're forced to do also is in the front end on
10 the fabrication, is do manufacture ability reviews, look at
11 how we're building a product, and debugging things, so to
12 speak, as you go through the process.

13 I guess there's three big challenges in this whole
14 thing, is having a good technical design and a good package
15 to which you're basing your fabrication on, having the right
16 documentation, proper documentation that fully supports that
17 yes, this product has been built to meet those requirements.
18 And then the third part is having the right people, capable
19 people, people that understand and are willing to be able to
20 become fully involved and stakeholders in this whole
21 operation.

22 Here again, I think if you look at the top success
23 factors, here again, top of the list, making sure we
24 understand the customer expectations. The definition of the
25 critical characteristics. You know, much of the information

1 that goes in the safety analysis report, which is approved by
2 the NRC, has a lot of information in it. Some of that
3 information is not necessarily critical to safety, but
4 critical to having the component built right. In fact,
5 sometimes it has too much information because it even
6 dictates how a manufacturer is going to build it, which
7 really shouldn't be in there. But with the EPRI document,
8 we're going to sit down and define those critical
9 characteristics.

10 It's not only dimensional information, that you get
11 the right minimum thicknesses and that you have the right
12 tolerance stack up, and that everything is going to fit
13 together, it deals with do you have the right inspection
14 criteria for knowing the hydrogen and carbon content of your
15 resin. Do you have the right way that you're going to
16 inspect and do the gamma scan of your lead? Does it have the
17 right features associated with how those trunnions are going
18 to be designed, or the right closure? So definition of the
19 critical characteristics is boiling everything down to what's
20 really important to safety and, by God, that's what we have
21 to meet.

22 The manufacturability review of that design will be
23 part of certainly the critical characteristics. I can't tell
24 you how many times we'll get a design that you can't x-ray
25 one of the joint welds because they didn't provide enough

1 room on the, say, where the bottom plate comes into the
2 shell. You have to provide the curvature so you can get a
3 pin behind it and be able to do an x-ray. Those are things
4 that are really important, and those are things that a
5 knowledgeable fabricator who's in this business will
6 understand how to do.

7 Material selection, I mentioned that. Boy, if
8 something is not made with the right material or there's a
9 question on it, that's a big loss to everybody.

10 And the critical or special processes, here again,
11 you have capabilities to do the pours, whether it be resin,
12 lead, can you do flame spring. We have flame spring
13 requirements on some of the TN casks where we do a zinc oxide
14 spray, so when you put it in a fuel pool, you don't get
15 interaction with the fuel pool water.

16 Electrolysis, electro process on the baskets. I
17 mean, we know what happened at the Trojan plant. Do you have
18 those capabilities? Are they accessible to you?

19 Documentation review, here again, I can't emphasize
20 that enough. You have a lot of people looking at it. You
21 want to make sure that you've got a package that works. And
22 then the people experience.

23 So, in summary, and I went through this for myself,
24 do you have the people and the culture who can meet the
25 requirements of the designer, the customer and the public?

1 Everyone's got to feel good about the product that goes out
2 the door, and you as the fabricator have to be efficient,
3 otherwise you're not going to be in business very long
4 either. So there's a benefit to everybody to making sure
5 that everybody is working together on this particular type.
6 This not like buying pumps and valves. I mean, this is a
7 highly engineered product, very much different than what
8 we've dealt with in the past in the nuclear industry.

9 So that's what I have. Any questions?

10 ARENDR: Thank you very much. We're running a little
11 bit over. We just have time for one or two questions. Go
12 ahead, Paul.

13 CRAIG: Paul Craig. I've got ask a question which you
14 may elect not to answer, which will be fine. But as you
15 know, our Board is charged to look at Yucca Mountain
16 specifically, and Yucca Mountain is a program which has a
17 number of deadlines, some of which are mandated by Congress,
18 but some of which are internally established by the
19 Department of Energy. And you said several times, one, we do
20 not ship anything for the sake of schedule. And, secondly,
21 you talked about having a clear understanding of customer
22 expectations.

23 Now, one of the things that the Department of
24 Energy does is it operates in this area in a totally schedule
25 driven way, which if I take that idea and I overlay it

1 against what you're saying, combined with some confusion on
2 customer expectations, it seems to me we have a prescription
3 for major problems. This is the main lesson I'm taking away
4 from your presentation as I try to take your ideas and apply
5 them to our situation. So I'm asking you to comment, but if
6 you choose not to, I will understand.

7 SOLOVEY: I'll always give a comment. We, of course, as
8 fabricators always consider ourselves at the bottom of the
9 food chain. Okay? When everything gets done, then they say
10 okay, this is the time you've got to make it. Can you make
11 it? Many of the schedules are very ambitious, but they are
12 doable, but it takes--you just can't--years ago you used to
13 be able, and that's the way engineering and manufacturing
14 companies work, you take and you design something, you throw
15 them over the fence and give it to somebody else to deal with
16 it. You can't do it on these projects. That's a very
17 important aspect. It's important to get the fabricator
18 involved way up front so you don't run into design or a
19 fabrication problem before it gets to them. Can you get the
20 material suppliers? Can you buy this material? Is it
21 readily available? Can you buy it in this kind of form? How
22 much is it going to cost? I mean, those kinds of basic
23 questions.

24 But to answer your question, you know, we run into
25 a lot of deadlines. Utilities need equipment. They have to

1 do their refueling operation. You try to communicate the
2 best you can and say if you need it by this date, this is
3 when we've got to start. But here again, you know, you just
4 can't--sometimes you just can't work back from the end date
5 and say this is when we're going to start. You've got to do
6 all the things up front in the planning phase, and this is
7 what we're hoping to happen with this EPRI document, too, is
8 give people a little bit more visibility on what they need to
9 do and when they need to do it. But it's a challenge, and it
10 will be there.

11 ARENDT: Dan?

12 BULLEN: Bullen, Board. Maybe to repeat myself from
13 this morning, we heard that for the shipping casks, for
14 example in the shipping campaign, it may be necessary to ship
15 waste to Yucca Mountain by 2010, and that the budget
16 shortfalls that may become a problem associated with the
17 DOE's efforts, there's still plenty of time to build the
18 transport casks necessary to do that. And I guess a couple
19 of things that you mentioned in your presentation with
20 respect to essentially the loss of the ability to do large
21 forgings and having to have 18 to 24 months of lead time for
22 some of the forgings of casks that you want to fabricate, is
23 it, from a fabrication point of view, do you think there's
24 going to be a problem in meeting a deadline if we wait too
25 long to place the order to be able to ship in 2010?

1 SOLOVEY: No, I think the whole point of starting early
2 enough, the first one is usually the challenge. Once you get
3 on a roll and you learn how to build it, then you get that
4 time down. I mean, there's strategies that you can do. You
5 can go ahead and buy material if you know the design ahead of
6 time. One of the things I--you know, I try to go to the
7 utilities and say, hey, you know, if you know you're going to
8 buy this kind of design, let's go to the material supplier
9 now, get into their mill run, or when they're going to do
10 their melt, and let's get that material reserved now so that
11 we can shorten up that six month delivery span on the large
12 forgings.

13 There are things that could be done ahead of time.
14 Now, it's an investment, but I think the material suppliers,
15 knowing how hungry the market is right now, will be more than
16 happy to commit to you, say okay, I'm going to commit from
17 these months to these months, that I'm going to make a melt
18 and I'm going to have these forgings available to you at a
19 certain time.

20 So it's not a matter--I think that's why we start
21 up front and we all work together to get to a point where we
22 can do those things that are not going to make this thing a
23 critical path item.

24 ARENDT: Richard, one last question here.

25 PARIZEK: This is kind of an eye opener for me to sort

1 of see this process, and I've seen some German examples, and
2 it's spectacular because they're kind of prototypes and
3 they're beautiful things you're building. It's like the
4 Rolls Royce, and the workers can look at it and see how
5 wonderful it is. I think 10,000 waste packages later, there
6 must be a certain element of fatigue that would creep into
7 this process, you know, if someone is doing this for year
8 after year after year. And how is the industry going to deal
9 with this, the repetition of doing this again and again and
10 again, to keep everybody's interest up? Again, you're going
11 to stick it underground, it's not like it's something you can
12 look at and admire and show your family, in a sense.

13 SOLOVEY: The canisters are going to be a little
14 different than the cask. They're going to be plate, rolled
15 plate, formed heads. It's not going to be long lead forgings
16 typically. There may be some small forgings you might need.
17 But a lot of manufacturers would love to have that kind of
18 backload of work to be able to get into production. What you
19 will gain from that is you'll get better repeatability in
20 quality because you have an operation that is repeatable.
21 You can do certain things. There will be automated
22 processes, such as the welding. You can train people, do
23 crewing, where you have people that are used to the same
24 process along.

25 Right now, it's kind of sporadic in this industry,

1 where sometimes you don't have people that have been familiar
2 with this. So it will help and it will help also to develop
3 a supplier base, not just one supplier, but maybe six, you
4 know, maybe four, whoever you feel who has the capacity. But
5 I think in a sense, it will help it from a standpoint of
6 quality. Like you say, you just can't drop your guard on it.
7 There will still be requirements for document packages, data
8 packages, and that component will not leave the shop until
9 the customer has signed off and say, hey, you met the
10 expectations.

11 You know, maybe somebody will get burnt out, but I
12 don't know, that's a good chunk of business and it makes a
13 lot of sense for a manufacturer to be able to respond to
14 that.

15 ARENDT: Okay, thank you very much.

16 Our next speaker is Bob Fronczak. Bob is going to
17 talk on the railroad performance specification for
18 transportation of spent fuel. Bob is assistant vice-
19 president of environment and hazardous materials for the AAR,
20 Association of American Railroads, Washington, D.C.

21 FRONCZAK: Thanks, John. This is my second time
22 addressing the Board. I addressed the Board a couple years
23 ago on I guess the last transportation workshop you held.

24 A little background on myself. I think I'm the
25 babe in the woods here. I've only been involved in the rail

1 industry for about 22 years. I worked for the Milwaukee Road
2 Railroad out of Chicago for seven. I was in sales to the
3 industry, consulting to the industry, and now with AAR for
4 the last six years.

5 Chuck and I apologize that you don't have copies of
6 our overheads. We had e-mailed them to the Board last week
7 with the understanding that they would be reprinted. But
8 apparently that didn't happen. I think somebody might be
9 making copies as we're done with the presentations, and they
10 may be available before the end.

11 What I'm here to talk about today, and I think
12 Chuck set it up nicely, is our goal for the transportation of
13 spent nuclear fuel. The last time I talked to you, I talked
14 about dedicated trains and where we stand as an industry, and
15 the need for dedicated trains. I think I talked a little bit
16 about our goal, which this is the goal of the chief operating
17 officers of the railroads, which is a dedicated cask car
18 train system that ensures cask integrity in the rail
19 operating environment, and is able to be transported at time
20 table speeds without restrictions on meets and passes.

21 One of the questions that we've been asked is,
22 well, how do you get from where we are today to there? And
23 the way we get there is the performance standard for spent
24 nuclear fuel trains, which is what I'm going to talk about.

25 I thought I'd make a few comments about the modal

1 studies. I think NRC is in the process of redoing that. I
2 thought I'd say just a few things about our concerns, or some
3 of the critiques we've had on the modal study, too.

4 The performance standard has been in the works for
5 the last couple years now. the first draft was December of
6 1998. There's two groups that are working on this. They're
7 industry committees. One is the Nuclear Waste Transportation
8 Task Force, which I am the AAR liaison for. The other is
9 Equipment Engineering Committee. It was approved this year
10 by the Equipment Engineering Committee. The Equipment
11 Engineering Committee is the committee responsible for all
12 new railcar standards. It was approved at their March
13 meeting. The standard is a little bit different than Chapter
14 11. Chapter 11 is our current standard for--all new rail
15 cars have to meet Chapter 11, and it's a whole bunch of
16 tests, which I'll get into.

17 But this not only applies to just the car, but it
18 also applies to all cars in the train, requires modeling
19 before construction, full-scale dynamic testing of each car
20 and the train, and a circular letter, which is the way we get
21 information out to the public in the rail industry, was
22 issued in May of this year, and comments were due June 26th.
23 I think we've received two comments at this time, and it's
24 due to become effective September 1st of this year.

25 What I'd like to do now is get into some of the

1 design requirements, keeping in mind that most of these
2 design requirements are current requirements in Chapter 11,
3 our current manual of standards and recommended practices.

4 There's a standard AAR freight load. These include
5 things like dead load, live loads, vertical load uncoupler,
6 jacking load, et cetera. There's a load case for passenger
7 cars. This would apply to the personnel car or cars carrying
8 people in the train. There's a crash worthiness requirement
9 that applies to all cars in the train, and that is based on
10 the crash worthiness requirements that hazardous materials
11 cars as well as passenger carrying cars currently have to
12 meet.

13 There's a fatigue design load requirement. What we
14 do is we have a spectrum of loads that is published in our
15 manual of standard and recommended practices, and all cars
16 have to meet that fatigue design requirement. There's also
17 weld analysis through finite element analysis. It meets with
18 American Welding Society standards, and full penetration
19 radiographic welds are required--I'm sorry--radiography is
20 required on all full penetration welds.

21 Continuing, there's a non-structural static
22 analysis, which includes truck twist equalization and car
23 body equalization. That is conducted to estimate truck and
24 car performance under statically applied track twist
25 conditions. In addition, a curve stability analysis is

1 performed to calculate real loading for adverse curving
2 scenarios. There's a truck warped restraint requirement.
3 That is to document the ability of the truck to withstand
4 longitudinal and lateral forces that might cause truck warp
5 resulting in high angles of attack, which can cause a
6 derailment. In addition, there's a static curve stability
7 requirement and curve negotiation requirement.

8 Dynamic analysis includes perturbed track
9 performance. This provides an evaluation under less than
10 ideal conditions. What we do is check for purvations at 39
11 feet and also at the wheel spacing of the car. 39 feet is
12 the old rail joint, and what it does is checks under worst
13 case situations for things like twist and roll, pitch and
14 bounce, sway and dynamic curving.

15 In addition, we've got perturbed special cases.
16 We've got a single bump requirement. That simulates
17 something like going over a grade crossing where you'll have
18 a little bit stiffer track, an individual bump, and also a
19 curving with single rail perturbation.

20 Continuing on the dynamic analysis, you get into
21 unperturbed track performance. And what this does is it
22 looks at the performance of the train under normal operating
23 conditions, over the road operating conditions, and that
24 includes hunting, constant curving, curving with various
25 lubrication conditions, limiting spiral negotiation, turnouts

1 and cross-overs, how does it deal with turnouts and cross-
2 overs. If you're not familiar, the rail industry does use
3 track lubrication for curving, and on tangent or straight
4 parallel track for energy efficiency, reduced wheel and rail
5 wear.

6 It looks at ride quality. We want to make sure
7 that the people that are in the personnel car aren't
8 subjected to abnormal forces, and also looks at drafts. That
9 would be run in and run out forces in curving applications.

10 Finally, on the dynamic analysis, there's a braking
11 effects on steering and worn component simulations. We want
12 to find out what that car will do ultimately long-term as the
13 components start to wear out.

14 In the brake system design, this is different than
15 our current Chapter 11, in that it uses, like Ray talked
16 about, our new technology, which is electronically controlled
17 pneumatic brakes, an ECP brake will apply the brake at the
18 speed of light instead of at the speed of an air signal going
19 through the train, which is the way brakes are applied today.
20 It also has the advantage of being able to provide a
21 communication system throughout the train. The specification
22 calls for either radio controlled or cable controlled brakes.
23 So there's two different ways you can have electronic
24 brakes, but that provides the communication system for some
25 of the defect monitoring, which is what I'm going to talk

1 about in a few minutes.

2 The brake system also looks at brake ratios and
3 shoe force variations. This prevents the brakes from
4 overheating the wheels, which can cause a wheel failure,
5 which leads to derailment, and also looks at jerk rates,
6 which is just how fast the train accelerates and decelerates.

7 Now, this is also a new requirement over and above
8 Chapter 11, our current Chapter 11. What we propose in the
9 new specification is a system safety monitoring, so that all
10 cars in the train would be monitored for location, speed,
11 truck hunting, rocking, wheel flats, in other words, there
12 would be an excel rounder, which would determine whether or not
13 the wheel is flat and hitting the rail too hard. Bearing
14 condition, that will be a straight temperature reading.
15 That's one of the causes of mechanical failure in
16 derailments, is overheated wheel bearings.

17 Braking performance, you know, what is the
18 performance and the status of the electronic brakes. Ride
19 quality, vertical, lateral and longitudinal acceleration, in
20 other words, did you hit a bump or something, in train forces
21 laterally that could cause a problem, and then finally, ride
22 quality, and then braking performance, which I mentioned
23 before.

24 Now, what does this look like? This is our concept
25 of what a dedicated train will look like. We've got two

1 locomotives, primarily just for redundancy, just in case one
2 of the locomotives were to break down, you've got redundancy.
3 It's not needed necessarily for power. Followed by a buffer
4 car. A buffer car, and I talked about this in the past,
5 needs to be of consistent weight with the cask cars and
6 locomotives. You don't want a real light car for a buffer
7 car, also connect as an energy absorber if there were a
8 derailment. And then a series of cask cars, and the cask
9 cars would have enhanced performance trucks, and all of them
10 would be equipped with defect detection. And then finally, a
11 security car which would be able to communicate with the
12 locomotive, as well as back to a home base.

13 One of the questions that we are asked on occasion
14 is does this technology current exist? This is a picture out
15 of our--at our transportation technology center of one of the
16 enhanced performance trucks. There's several other enhanced
17 performance trucks. These are being tested right now in our
18 heavy axle load loop, and we're looking at 286,000 pound
19 loads, 350,000 pound rail loads in just heavy axle service
20 currently. So this technology does exist.

21 And one of the things that took two years from the
22 current--from the draft of the specification to the
23 finalization of the specification, is the Equipment
24 Engineering Committee was quite concerned about the ability
25 of existing technology to meet the specification. And the

1 performance requirements in the specification, all the things
2 that I talked about, are tighter in this specification than
3 they are in Chapter 11. The concern was can current
4 technology meet it. We went and we did some modeling on our
5 own, and we determined, were quite confident that current
6 technology can meet the specifications.

7 Now, as far as the approval process, the AAR
8 Equipment Engineering Committee, which approves all new
9 equipment for the rail industry, is the governing body.
10 There is a preliminary design review required after you
11 design the equipment. After that, you have submittal of
12 full-scale test report. So once you have an approved design,
13 the builder would build the equipment, send it to some place
14 for testing, and then a design report would be--I mean, a
15 full-scale test report would be submitted to the Equipment
16 Engineering Committee.

17 Once that goes through the committee for approval,
18 it would be approved for a conditional run, and after it runs
19 for so many thousand miles, then it would be full scale
20 approval, that's after 100,000 miles of operation.

21 Now, I thought I'd mention right now the fuel
22 storage people are currently designing their system to meet
23 this standard, and they're in the design phase. They haven't
24 submitted anything to Equipment Engineering yet, but that's
25 where they're at.

1 Now, on the modal study, we've taken a keen
2 interest in the modal study. Primarily, I think what we'd
3 like to do is relate the forces that the casks are subjected
4 to in the regulatory testing to forces in derailments, and
5 that's one of the key areas we felt needed addressing in the
6 modal study. Another one was can the impact limiters stay on
7 in a derailment. There's a lot of glancing blows in
8 derailments and we're quite concerned that the impact
9 limiters would come off, and the casks would be subjected to
10 full loads without the benefit of the impact limiters.

11 Crush loads are something that the large casks
12 don't have to meet at the current time, and yet they're a
13 very real possibility in rail derailments. I'm sure you
14 heard about the Eunice, Louisiana derailment that happened
15 over the Memorial Day weekend. It took several days just to
16 identify all the cars that were involved in the derailment.

17 We also felt that the study needed updating, and I
18 think Robert talked about that a little bit, for credible
19 rail accidents. There's been some pretty severe accidents
20 since the study was written.

21 Robert also talked about the modeling techniques
22 that were used, and it sounds like they're going to look at
23 that and update that. Wayside conditions was another area.
24 Highways are built generally to follow topography, so there's
25 not as many cuts and fills. Railroads are limited in the

1 grade that they have to operate on, and because of that,
2 there's a lot more cuts and fills. So we felt that the
3 wayside conditions are different, and they used highway
4 conditions in the modal study.

5 And we filed comments, and our comments were I
6 think somewhat on the order of 100 pages, to NRC, and I'm
7 assuming they used that as part of their scoping process for
8 updating the study.

9 So in summary, I guess we're looking to a dedicated
10 cask system for the transportation of spent nuclear fuel, and
11 we feel that the performance standard is the way to go to get
12 there.

13 So I'll open it up for questions.

14 ARENDT: Questions, anyone? Dan?

15 BULLEN: Bullen, Board. You talked about the
16 performance standard and essentially the need for dynamic
17 testing. But that was essentially dynamic testing of normal
18 wear conditions. Could you speak a little bit about off-
19 normal conditions, where you'd expect sort of beyond dynamic
20 testing characteristics, and what would you expect to see for
21 sort of performance confirmation tests associated with that?

22 FRONCZAK: Well, I think the perturbations testing is
23 abnormal testing. In other words, that wouldn't be track you
24 would normally find in mainline track in the United States.
25 But it's those perturbations that can exist in yards and

1 terminals where those cars can be switched, and that does
2 address the abnormal testing.

3 BULLEN: And then a quick follow-on to that one. Then
4 if you fulfill all these testing requirements, then do you
5 foresee that the dedicated trains should have the ability to
6 meet the speed requirements that won't bottleneck the system
7 that we've heard about earlier?

8 FRONCZAK: Yeah, that's correct. Our goal is timetable
9 speed. So whatever the posted speed for the track is, that's
10 what we'd like to see. And we feel the performance standard
11 is the way to get there.

12 BULLEN: Thank you.

13 ARENDR: Carl?

14 DI BELLA: Carl Di Bella, Staff. Could you give us an
15 idea, Bob, of the heaviest cars that are moving around at
16 timetable speeds today, and how those compare with the weight
17 of future railcars carrying synthetic fuel casks?

18 FRONCZAK: Chuck, do you want to address that? I mean,
19 I know we're running 286 at timetable speeds. Much more than
20 that, it's the locomotives that are--

21 DI BELLA: Is that 286,000 pounds, or 286 tons?

22 DETTMANN: 286,000 pounds is what is normal. We're
23 running 315,000 pound cars on four axles out there in very
24 specific origin and destination conditions. But then our
25 locomotives are 480,000 pounds out there. So, I mean, weight

1 and speed are the issue for testing of the unit together, but
2 weight of itself, I mean, when you look at the old steam
3 engines, there were steam engines out there of a million
4 pounds. And that's why the bridging today in this industry
5 is frankly not an issue for the weights that we are moving up
6 towards.

7 ARENDT: Bob?

8 LUNA: Yeah, one of the items on your list of
9 specifications was crash worthiness. What does that mean,
10 really?

11 FRONCZAK: There is a crash worthiness requirement for
12 all personnel cars, or passenger cars, for that matter, that
13 we have at AAR that all of our passenger cars meet. And the
14 passenger car will have to meet that crash worthiness
15 requirement.

16 LUNA: But it doesn't apply to the freight cars
17 themselves, or to the cask cars themselves?

18 FRONCZAK: That's right.

19 LUNA: Okay. So it's only the personnel cars?

20 FRONCZAK: Right.

21 ARENDT: Any other questions?

22 (No response.)

23 ARENDT: Well, seeing there's no more, we'll have a ten
24 minute break, or a fifteen minute break. Let's get back at 3
25 o'clock.

1 (Whereupon, a break was taken.)

2 ARENDT: Our next speaker is Jim Reed with the National
3 Conference of State Legislatures. He's going to present
4 views of states that may be affected by spent fuel
5 transportation. Jim is the program director for
6 Transportation, the National Conference of State Legislatures
7 in Denver, also known as NCSL, the National Association of
8 all Southern State Legislatures. NCSL has been involved in
9 spent fuel transportation for 16 years. Mr. Reed has worked
10 for NCSL for 12 years, providing information to state
11 legislatures on a variety of transportation issues.

12 Prior to that, he worked for the State of Texas and
13 for former U.S. Senator Lloyd Benson. he has a BA in
14 political science from the Colorado College and a master of
15 public affairs from the LBJ School of Public Affairs at the
16 University of Texas. Jim?

17 REED: Thank you, Mr. Chairman.

18 I'm going to do it a little different. I don't
19 have any overheads. I've got a written statement that I
20 think you should all have, and I'm going to go through that.
21 I won't be reading it verbatim, but pretty close.

22 I do appreciate the invitation to speak today.
23 NCSL has not appeared before the NWTRB before, and we sure
24 appreciate the opportunity.

25 A little more background on NCSL, besides being as

1 the National Association for all the state legislatures, we
2 provide information to the 50 states. We have a staff of
3 experts in virtually every policy area from abortion to taxes
4 in Denver, and we're a clearing house for state legislatures,
5 legislative staff and others.

6 In addition to that, we have meetings every year,
7 many meetings a year where state legislatures from across the
8 country get together and share ideas between themselves, and
9 also hear from policy experts and others that are interested
10 in state legislative processes.

11 Finally, we do also provide input to Congress
12 through our Washington, D.C. office. We agree to state
13 positions every year at our annual meeting, which is coming
14 up next week, and those positions then become the basis for
15 lobbying in front of Congress, and we also provide
16 information to federal agencies.

17 As your Chairman mentioned, we've looked at this
18 issue of spent fuel transportation for 16 years. Through
19 NCSL legislatures and legislative staff, have had input into
20 the DOE program through a cooperative agreement that we have
21 funded by DOE, and it supports a variety of activities,
22 including a quarterly newsletter that informs state
23 legislatures and others of what's going on, NCSL attendance
24 at a variety of DOE and other related meetings, and as well,
25 a legislature task force, which we've had active in one form

1 or another since 1984.

2 The information that we provide then allows the
3 state legislatures to enact legislation in areas where they
4 feel affected by spent fuel transportation.

5 I have distributed a report, and I ran out, so if
6 you didn't get a copy, please give me your card, but it's
7 called The State Role in Spent Fuel Transportation Safety,
8 Year 2000 Update, and I'd be happy to provide that if you
9 didn't get it. It goes into quite a bit more depth about
10 what the states are doing in this area.

11 Today, I want to focus in four areas; modal
12 selection, routing, emergency response, and uniform state
13 permitting. But first let me mention that we have had an
14 interaction with the NWTRB. We had Dr. Melvin Carter appear
15 at our meeting, one of our early task force meetings back in
16 1990, and he recommended that DOE look into human factors at
17 that time to apply what is known about human limitations to
18 the design and operation of transportation systems to ensure
19 optimal safety. But that's still a very relevant suggestion
20 today, and in bold in my statement here, I've got six or
21 seven recommendations, or suggestions, I guess. They're not
22 formal recommendations, but suggestions for the NWTRB to look
23 at.

24 The first one is that we urge NWTRB that DOE go
25 ahead and look at human factor studies, look at all the state

1 of the art, and try and incorporate relevant findings into
2 their plans and activities as they initiate a transportation
3 system for spent fuel. Because as the US DOT statistics
4 show, 65 per cent of all transportation accidents can be
5 attributed to human error.

6 moving to modal selection, our legislature task
7 force in the early Nineties focused on spent fuel
8 transportation issues, and a significant effort of this group
9 was a modal selection study. I think it's still relevant
10 today, even though it's almost ten years old. It's
11 distributed to the Board members. It's this study. I didn't
12 have copies for everybody. If you're really interested after
13 hearing what I have to say, I'll be happy to provide you a
14 copy of it.

15 Basically, this study, after going through the
16 materials available to us at the time, suggested that rail
17 would be the preferred mode for spent fuel transport over
18 truck and barge, because of several things. One, the lower
19 probability of an accident and radiation exposure in transit.
20 Higher capacity for shipments. The availability of
21 dedicated trains, which were perceived as safer. And lower
22 overall cost. The preference, however, was tempered by
23 concern that the states lack a strong regulatory role in rail
24 safety, that no rail routing provisions exist currently, and
25 still don't, and that some rail accident response could be

1 hampered because of the inaccessibility to roads.

2 By contrast, states have a much more prominent role
3 in terms of regulatory capability in ensuring highway safety,
4 and also have routing authority for highway shipments. But
5 the task force at that time was concerned that higher risk
6 was associated with truck shipments in terms of higher
7 accident probability, greater radiation exposure, and greater
8 public fear of highway transport.

9 Well, since that study, there's some additional
10 concerns that have arisen due to the ongoing consolidation of
11 the railroad industry. There was passing reference earlier
12 today about the Union Pacific/Southern Pacific merger, and in
13 fact it caused a severe service meltdown, as it's been called
14 by some in the Houston area, and this spread through the
15 entire system of 36,000 miles. The resulting chaos cost the
16 national economy \$4 billion, and the Surface Transportation
17 Board took the unprecedented step of allowing another
18 railroad to operate on UP's tracks in the Houston Gulf Coast
19 area.

20 Other mergers have occurred since that time as
21 well, and there's a pending proposed merger between
22 Burlington Northern, Santa Fe and Canadian National that had
23 enough concern expressed that the STB a few months ago
24 imposed a 15 month moratorium on mergers so they could kind
25 of get their act together and decide what they're going to do

1 in the future.

2 Some have said that over time, there's only going
3 to be two railroads left in the country the way things are
4 going. And this does raise some safety concerns. Spent fuel
5 shipments could potentially be caught in a volatile shipping
6 situation, such as was seen in the Houston area. Congested
7 rail lines could leave spent fuel casks stationary for
8 periods of time that could expose workers and the general
9 public to potentially unsafe doses of radiation. So NCLS
10 recommends that the NWTRB ask DOE to study the impact of rail
11 mergers on the safety of future spent fuel transportation.

12 Moving to routing, there's been a longtime concern
13 that current regulations require the carrier to select routes
14 rather than the shipper, in this case of commercial spent
15 fuel, it would be DOE. The states believe that DOE should
16 play a central role by narrowing the number of acceptable
17 routes. Then the states can concentrate their scarce
18 training resources along those routes for emergency response
19 and enforcement.

20 The Waste Isolation Pilot Program provides a
21 positive model for the states. In selecting the WIPP routes,
22 a preliminary set of routes was proposed to the states, and
23 then it was modified based on states suggestion and also
24 based on formal alternative route designations.

25 The routes that DOE selected, in consultation with

1 the carrier, states, tribes and others, were included as
2 mandatory provisions in carrier contracts.

3 With respect to mode and route issues, NCSL has
4 asked DOE to conduct route and mode specific analysis of
5 transportation impacts to exhaustively evaluate the risks
6 associated with spent fuel and high level waste
7 transportation, and many others have made the same request.

8 The draft environmental impact statement for Yucca
9 Mountain does not contain this analysis and, therefore, we
10 feel it's significant flawed. NCSL continues to believe that
11 specific routes and modes entail different risks. Thus, the
12 generalized analysis contained in the DEIS is not adequate
13 for determining risk and making informed judgments, as
14 required under the NEPA. Therefore, NCSL requests that NWTRB
15 press DOE to analyze specific routes and mode combinations to
16 states the opportunity to begin specific preparations to
17 address safe routine transportation and emergency response to
18 spent fuel shipments.

19 The third area I want to address is emergency
20 response. This is a very key concern of state legislatures.
21 We've seen the substantial variation that exists among the
22 states as to the adequacy of emergency response capability
23 for radiological transportation accidents.

24 There was a study done in 1990 by Indiana
25 University that was sponsored by NRC, and this is the most

1 recent comprehensive survey that I'm aware of of state
2 capabilities. It divided the states into four categories,
3 and I want to briefly summarize those results because I think
4 that the Board might find them significant.

5 I do have the reference for this study for the
6 Board if you're interested in following up with that. I
7 didn't have an extra copy to bring. It's a lengthy report.

8 Basically, one-third of the states, which would be
9 about 17 states, reported that their program is basically
10 adequate and they have no pressing needs. They would like
11 additional resources, including upgraded field communications
12 equipment, state of the art laboratory and field equipment,
13 protective clothing, respiratory devices, and dedicated
14 vehicles.

15 Another group representing a fourth of the states,
16 or about 12 to 13, indicated that their program was more or
17 less adequate, but reported that they needed additional
18 resources, such as upgraded equipment, more training for
19 radiation technicians, and first responders, support to
20 conduct field exercises, and planning support as well.

21 One-fifth of the states, which would be ten,
22 reported the existence of a deficient transportation
23 emergency response program in the opinion of their
24 radiological health personnel. These states need substantial
25 resources to attain an adequate program, including basic

1 laboratory and field equipment, planning support, needs
2 assessment and training.

3 Finally, the remaining states, which is ten,
4 declined to offer an opinion due to internal state
5 disagreement or other reasons.

6 At least one state in that survey said that they
7 rely on the Federal Nuclear Research Facility within its
8 borders for emergency response to radiological emergencies.

9 Increases in the number of spent fuel shipments
10 therefore will be viewed differently by state officials,
11 depending on the sophistication of a particular state's
12 emergency response system, and other factors.

13 Presumably, there's been some improvement in ten
14 years, but I'm aware of no new data to support such a claim
15 on a nationwide basis. To its credit, DOE has worked closely
16 with the states in attempting to increase state capabilities,
17 but funding has been scarce.

18 So, NWTRB can assist the states by encouraging DOE
19 to generously and fairly fund programs, such as Section
20 180(c) of the Nuclear Waste Policy Act, that are designed to
21 help states in dealing with spent fuel shipments that pass
22 through their jurisdictions.

23 The Board can also help by asking NRC to update
24 this 1990 study on state and tribal emergency response to
25 radiological transportation incidents, to help develop a

1 better baseline for objectively determining emergency
2 response needs.

3 The final area I want to address is more in the way
4 of information for the Board. It's the Uniform Hazardous
5 Materials Transportation Program. Several states have agreed
6 on a better way of regulating Hazmat transportation, which
7 includes spent fuel, that works more efficiently while still
8 protecting public health and safety. This effort
9 standardizes the forms and procedures for hazardous
10 materials, including radioactive, on the permitting and
11 registration and motor carriers.

12 Pursuant to 49 USC 5119, the Alliance for Uniform
13 HazMat Transportation Procedures has recommended a base state
14 system where motor carriers receive credentials in their home
15 state that are valid in all the participating jurisdictions.
16 The credential is issued after a stringent safety analysis
17 to determine that the carrier is fit to operate safely.

18 States using the uniform program have found that it
19 improves safety through better regulatory compliance on the
20 part of motor carriers. Motor carriers must certify as part
21 of the process that they are aware of and will comply with
22 all applicable federal and state regulatory requirements.

23 Well, Congress created this Alliance as part of the
24 Hazardous Materials Transportation Uniform Safety Act of
25 1990. Back then, there was a lot of pressure from industry,

1 the trucking industry primarily. There were 80-some programs
2 in existence that regulated in this manner, and at one point,
3 Congress was thinking of preempting all these programs, but
4 the compromise was to put this group together to study the
5 process and come up with uniform forms and procedures. It
6 consisted of 28 state and local officials that had these
7 kinds of programs, and 27 different jurisdictions.

8 Their charge was to establish uniform forms and
9 procedures for states that do register and permit carriers
10 that transport, cause to be transported, or ship hazardous
11 materials by motor carrier. The initial recommendations were
12 conveyed to the Secretary of Transportation back in 1993, and
13 pilot programs were subsequently set up in Minnesota, Nevada,
14 Ohio and West Virginia. In 1994 and 1995, they tested the
15 recommendations.

16 In the meantime, Illinois, Michigan and Oklahoma
17 joined the program. A final report was issued in '96
18 basically asking Congress to create a compact-like process to
19 encourage new states to adopt the new uniform program.

20 Registration and permit programs that are inconsistent
21 with the uniform program after a certain date would be
22 preempted.

23 When fully implemented, the end result would be a
24 consistent national safety permit and registration process
25 run by states to ease motor carrier compliance with state

1 programs, and also it would decrease the administrative
2 workload in individual states because it would spread the
3 regulatory burden across all states. In other words, all
4 states--each state wouldn't be doing all the carriers that
5 come through their state. It would be shared with those
6 states where that carrier was based in another state.

7 The implementation ultimately does depend in part
8 on the new Federal Motor Carrier Safety Administration. The
9 way the law reads, if 26 states adopt this on their own, it
10 would become federal law. However, before that time, the
11 Federal Motor Carrier Safety Administration would have
12 authority to implement this program before that number was
13 reached.

14 In conclusion, state legislatures are continually
15 vigilant, if not sometimes weary, in monitoring the progress
16 of DOE in the civilian waste program, and in following what
17 the impact may be on state and local transportation systems.

18 Unfortunately, DOE has curtailed its funding of
19 spent fuel transportation planning and education work needed
20 to implement a spent fuel shipping campaign of the magnitude
21 planned for a potential Yucca Mountain repository. NWTRB
22 could help the states as well as national and regional
23 groups, of which states are members, by urging DOE to restore
24 adequate funding for the cooperative agreements like the one
25 that has allowed NCSL to inform and educate state

1 policymakers of DOE's plans for spent fuel and high-level
2 waste transport and disposal.

3 I thank you for the chance to speak today, and I'd
4 be happy to address any questions.

5 ARENDR: Thank you very much. Any Panel members, any
6 questions for Jim? Yes, Dan?

7 BULLEN: Bullen, Board. I was actually very intrigued
8 by the results of the 1990 study that the University of
9 Indiana did with respect to the number of states that thought
10 they were adequately prepared for the emergency response
11 necessary, and your comment was you didn't think that that
12 may have changed much since then.

13 In light of that draft environmental impact
14 statement and the routes that were proposed coming out, do
15 you think that that should be a focus for the funding that
16 you would request that we urge DOE to provide to the states?

17 REED: To do the study?

18 BULLEN: Well, to complete the study and to maybe
19 improve the emergency response capabilities of those states
20 and localities?

21 REED: In terms of improving the capabilities,
22 absolutely. The study, it would be nice to have, but I guess
23 I wouldn't want the money to go for a study. The NRC did the
24 study, so I'm thinking the NRC can do that. DOE is really
25 more on the implementing side that would provide the funds.

1 So I guess in my mind I was separating it that way. But in
2 terms of scarce dollars, I think that the main thing is to
3 get dollars into the hands of the state and local
4 jurisdictions that need the funding for emergency response.

5 I don't know, was that responsive?

6 BULLEN: That actually answered the question. The
7 concern that I have, I mean, with the limited resources
8 available, I was hoping that we would be able to direct where
9 it would go. For example, if it looks like a majority of
10 them are going to follow down the I-40 corridor or the I-70
11 corridor or the I-80 corridor, you should probably emphasize
12 that, or specific UP rail corridors, that those kinds of
13 things would be a focus as opposed to saying well, you know,
14 we want to make sure that everybody who wants to have a piece
15 of this pie can say okay, you know, we have a county that's
16 maybe within 200 miles of the rail line, we want to make sure
17 we have emergency responders that can respond in case there's
18 an accident. So focusing it based on essentially the efforts
19 associated with DOE and trying to identify where the need
20 would be greatest, I guess is the question that I asked.

21 REED: Absolutely. And that's why we want DOE to give a
22 better indication of routes and modes, and so those kinds of-
23 -the money can then be more funnelled to those areas.

24 BULLEN: As a follow-on to that one, what kind of lead
25 time do they need to complete this training? I know that,

1 for example, my state has a pretty good emergency response,
2 and it's based at the University systems at University of
3 Iowa and Iowa States, but how long does it take to bring
4 everybody up to compliance and to give them the equipment and
5 to do those kinds of things? Is it something you could do in
6 a crash program in a year? Or would you have to do it over a
7 five year period or a ten year period?

8 REED: The number that's out there is three to five
9 years. That's the number that the states typically throw
10 out, three to five years.

11 ARENDT: Any other questions? Yes, identify yourself.

12 SWEENEY: My name is Tim Sweeney with SAIC. The WIPP
13 experience shows that on the average, every 18 months, you
14 have approximately 100 per cent turnover of first responders.
15 So starting five years in advance doesn't really gain you
16 much because you have to do it all anyways. So if you're
17 worried about utilizing dollars properly, that might not be
18 the best way to go.

19 And, too, I'm a little concerned about a study
20 where you basically send out a letter to a state saying how
21 do you feel about your capability, because again the
22 political answer is well, we can't say we're doing a bad job,
23 but we still want to keep our hand out for more money. So in
24 terms of using that as a decision making tool, I'd be a
25 little resistant to that.

1 REED: Yeah, I don't think the intent would be to use it
2 as a decision making tool as much as to provide information
3 in a general sense on where some of the deficiencies are.
4 I'm not sure in terms of the methodology, it was done by
5 Indiana University, so, you know, I don't know how they--any
6 time you do a survey, you're going to have some of the issues
7 you raised.

8 As far as--what was your first question again? I'm
9 sorry.

10 SWEENEY: Just about the timeline prior to--

11 REED: Oh, yeah. I think we're not just talking about
12 training emergency responders. We're talking about the whole
13 system of a state getting ready for these kinds of shipments.
14 And certainly that's a key part, is training responders, but
15 just the whole apparatus of state government planning and
16 some of the things that need to be done. I mean, we've
17 talked a lot at the TEC meetings about the turnover of
18 emergency responders, and that's a constant process of
19 refreshing. So I don't think the suggestion is you train all
20 the responders five years ahead of time and they'll still be
21 there. Some will be. But there's all these other activities
22 that are involved as well.

23 ARENDT: Okay, any other questions?

24 (No response.)

25 ARENDT: Okay, thank you very much. Our next speaker is

1 Bob Halstead. Bob is with the consultant to the State of
2 Nevada, Nevada Agency for Nuclear Projects, and his topic is
3 the Nevada issues related to transportation of spent fuel.

4 HALSTEAD: Thank you for the opportunity to be here
5 today. We've been quite busy since the last time someone
6 from Nevada addressed the board on transportation, and a lot
7 of what we've been busy with since last August is reviewing
8 the draft environmental impact statement that the Department
9 of Energy issued last August.

10 Additionally, we've been working on a couple of
11 other issues with the Nuclear Regulatory Commission. One is
12 a petition for rulemaking for enhanced safeguards
13 regulations, counter-terrorism and sabotage, and also we've
14 been actively involved in the modal study update process, and
15 I'll talk about those two things in a few minutes. But
16 mostly I'm going to talk about the Department of Energy's
17 environmental impact statement and the review that we've been
18 doing for the last nine months.

19 In fact, it seems like I haven't done anything else
20 since last August but think about this draft EIS and the 50
21 boxes of references that came to the office, and for those
22 who like to carry it around neatly like Rob does, you can
23 carry all the references around on only 22 CD ROMs. So it's
24 a pretty challenging review, plus we've generated our own
25 technical documentation.

1 We gave statements at all of the hearings around
2 the country on transportation issues. We filed written
3 comments at the end of February, 220 pages of our comments
4 related to transportation, which means we wrote almost as
5 many pages about transportation as DOE did, and all of our
6 material is available on the web at our websites. I've given
7 you the address there.

8 Now, before I get into Nevada's critique of the
9 draft EIS, I had hoped that someone from DOE would save me
10 from having to spend a few minutes by describing what the
11 transportation aspects of the draft EIS are. But for those
12 of you who aren't familiar with it, the transportation system
13 that DOE is proposing in the draft EIS is broken into two
14 parts, a proposed action and an extended action.

15 The proposed action involves disposal of the 70,000
16 metric tons uranium of waste that is actually specified as
17 going to the repository in the Nuclear Waste Policy
18 Amendments Act. As most of you know, 10 per cent of that is
19 reserved for defense high-level waste. DOE then developed
20 two modal scenarios for that proposed action, mostly truck,
21 in which there would be 49,500 truck shipments and 300 rail
22 shipments of Naval fuel from Idaho. So that's a little more
23 than 20,000 truck shipments a year each and every year for 24
24 years.

25 They also developed a mostly rail scenario in which

1 all but nine reactors are shipped by rail. There would be a
2 total of 10,800 rail shipments, 2,600 truck shipments, and
3 that works out to an average of about 560 shipments a year
4 every year for 24 years.

5 Now, as most of you know, that 70,000 metric tons
6 doesn't actually cover all the projected waste that requires
7 geologic disposal. So DOE added an extended action. It's
8 very confusing. If you read the document, there is an action
9 to address inventory Module 1 and Module 2. It's kind of
10 typical Washington speak, but what it means is 105,000 metric
11 tons of civilian spent fuel, plus about 15,000 metric tons
12 equivalent of DOE spent fuel and high-level waste gets
13 shipped to the repository over 38 or 39 years. There are
14 different year markers at different parts in the draft EIS,
15 and I got called on the carpet the other day, where did you
16 get this 39 years? DOE says 38 years. But over 39, 38
17 years, we'll say one year isn't much.

18 But that actually results in a higher average
19 number of shipments for the truck scenario, 96,000 truck
20 shipments, or an average of 2,400 a year for 38 or 39 years.
21 And under the mostly rail, you have 19,800 shipments by
22 rail, and 3,700 by truck. That works out to 602 per year.

23 Now, I'm sorry to throw these numbers at you
24 without an overhead, but it didn't occur to me I would come
25 today and want to talk about Nevada's concerns about

1 transportation and the draft EIS. And unless you understand
2 these numbers and the confusion over DOE's refusal to specify
3 a preferred mode or modal mix along with the issues about
4 routing, then you wouldn't understand the rest of my
5 comments.

6 Now, Nevada also has its own view of the way the
7 modal mix should be set forth in the draft EIS. DOE's
8 approaches a bounding scenario, let's say 100 per cent truck
9 and let's say maximum rail, which is about 95 per cent rail.
10 We've been studying this issue for ten years on a site by
11 site basis. We know the ins and outs of all the reactors.
12 We know what their crane capacities and their set-down spaces
13 are. And for the last five years, we've been arguing that
14 shipments ought to be planned basically on what the current
15 capability of the reactor is. That's 32 truck only reactors,
16 40 capable rail reactors and five DOE sites. And I don't
17 want to bore you with any more numbers, but that's an in
18 between shipment scenario of 26,400 truck shipments, 14,000
19 rail shipments, or an average of 1,000 shipments a year for
20 38 or 39 years.

21 Now, it's important to put this in perspective
22 against what the history of the industry is. The glory days
23 of spent fuel transportation in this country were between the
24 mid Seventies and the mid Eighties. For the last ten years,
25 we've had an average of about 75 to 100 NRC regulated spent

1 fuel shipments a year. The experience that the industry has
2 is old experience, and by the time we get to 2010, the people
3 who supervised that, you know, most of us in the business
4 know the names, you know, it's John Fisher from Vepco
5 (phonetic), or John Vincent from GPU, or Caneda (phonetic)
6 from Duke, or Sheiman from Webco, or Bob Jones, who seemed to
7 be involved everywhere in all shipments at all times for the
8 last 40 years. The people who have that experience are going
9 to be retired by the time these shipments get full tilt.

10 So it's important to contrast the history of spent
11 fuel shipments and the numbers of shipments, and the shipment
12 characteristics in larger casks, larger quantities, longer
13 distances, to understand the concerns we have in the State of
14 Nevada that when we look back at the historical track record
15 of the industry, we're still not satisfied with what we see
16 in the Department of Energy's transportation plans.

17 A second general issue that I have to share with
18 you regarding the draft EIS has to do with the difficulty of
19 transportation access to Yucca Mountain. From a
20 transportation planner standpoint, put bluntly, it's a
21 terrible place to set up a facility where you have to do a
22 lot of shipping. It has no rail access. Building rail
23 access will be technically and institutionally difficult and
24 very expensive. It has no direct interstate highway access.
25 So legal weight truck shipments either have to go through

1 metropolitan Las Vegas to stay with the interstate system, or
2 they have to go through torturous mountainous terrain on two
3 lane highways characterized by sharp curves, steep grades,
4 and the general absence of guardrails.

5 Heavy haul truck access will also be difficult.
6 You know, the Department of Energy has looked at intermodal
7 transfer stations at a number of locations, but in each case,
8 the routes that these heavy haul trucks would have to use
9 from the intermodal locations, or from the intermodal
10 stations to Yucca Mountain have the same difficulties of
11 either having to go through highly populated and congested
12 urban areas, or going through dangerous and difficult roads
13 through mountainous terrain.

14 Now, let me turn to a brief overview of what we see
15 as the major deficiencies in the Department's draft
16 environmental impact statement.

17 First and foremost, the failure to designated a
18 preferred mode or modal mix scenario, and the failure to
19 designate a preferred route for construction of a new rail
20 spur from the existing Union Pacific rail line to Yucca
21 Mountain raises great doubts in our minds about DOE's ability
22 to build a rail spur which has profound implications for
23 modal choice and the number of shipments and the impacts
24 nationwide.

25 Furthermore, we're concerned about DOE's failure to

1 designate an acceptable highway interchange for their base
2 case routing in Nevada. They have assumed that they could
3 use the new Las Vegas beltway, I-215. There are both
4 technical and institutional reasons why they will likely not
5 be able to use an interstate equivalent bypass to downtown,
6 and unless they decide to go with an alternative route, or
7 the State of Nevada designates an alternative route, the base
8 case would put all those shipments through downtown, through
9 the intersection we call the Spaghetti Bowl, where US 95 and
10 I-15 join.

11 We are also concerned about unrealistic assumptions
12 regarding the national mostly rail scenario. As I said, we
13 think the best that can be done, even if there is a rail
14 line, is to move 60 per cent of the inventory by rail and 40
15 per cent would have to come by truck. And there also are, we
16 believe, unrealistic assumptions regarding intermodal
17 transfer facilities in Nevada, and I'll talk about those in a
18 moment when we talk about heavy haul transportation.

19 Now, there are some specific issues regarding
20 transportation risk. The first set of comments has to do
21 with specification of the transportation system. We look
22 specifically at the area of risk, we find one key problem
23 throughout the document, DOE likes to give single point
24 values for risk, and we believe this generally creates a
25 false impression about their ability to quantify these

1 transportation risks. We think it's much better to use a
2 range of values that reflects the uncertainty that's involved
3 in calculating these risks, and I'll give you an example in a
4 moment.

5 Secondly, we're concerned about the under
6 estimation of routine radiological exposures using the
7 RADTRAN model. The RADTRAN model is good for some types of
8 analysis, and we use it, but it's not sensitive to unique
9 local conditions, for example, where the delivery routes
10 through places in Nevada go through small towns. And we've
11 identified locations on the routes in West Windover, Ely,
12 Tonopah, Beatty and Goldfield, where each truck shipment
13 could have a potential exposure time of up to two minutes to
14 people living and working within six to ten meters of the mid
15 point of the highway lane that's going to have the spent fuel
16 shipment. And when you look at the NRC allowable dose rate
17 of 10 millirem per hour at two meters from the cask surface,
18 and you extrapolate that out, that means we're creating hot
19 spots in Nevada communities where maximally exposed
20 individuals will potentially get 150 to 260 millirems of
21 additional radiation.

22 Now, that may not be significant in terms of
23 increasing a standard accepted statistical cancer rate, but
24 you're talking about increasing exposures by 40 to 60 per
25 cent over the average annual background rate. We believe

1 that that is unacceptable.

2 Additionally, the heavy haul routes, because of
3 slower speeds and larger cask dimensions, and the fact that
4 state permit conditions are going to restrict them to
5 operating during daylight hours on weekdays would further
6 concentrate the opportunities for routine exposures to the
7 public. This is a major deficiency in the radiological risk
8 assessment of the draft EIS, and is in and of itself, we
9 believe, a basis for litigation if it isn't resolved in the
10 final EIS.

11 Beyond this, we're concerned about two other areas
12 of radiological risk, the under estimation of accident and
13 terrorism incidents, and the ignoring of the economic impacts
14 of those events, and I'll show you, this is an out of
15 sequence slide, it's on the back of the handout with the map.
16 I've just been working over some new consulting materials
17 this week where we continue to rework this analysis, and let
18 me just give you an example.

19 DOE, to its credit, for the first time in any of
20 its documents is acknowledging the potential for very
21 significant radiological release from a severe accident. The
22 rail accident is larger because of the larger source in the
23 cask, and what they give you in Table 6-12 is the potential
24 for a population dose of 61,000 person rem, resulting in 31
25 latent cancer fatalities.

1 We ran the RADTRAN model and replicated their
2 outputs, and then we used credible alternative outputs which
3 we thought were more realistic, in particular, changes in the
4 radiological characteristics of the spent fuel based on
5 cooling time, and looking at some different approaches to
6 atmospheric conditions, and we found much larger results in
7 terms of the population dose in the latent cancer fatalities.
8 And then when we use the economic calculation--I'm sorry--
9 the economic cost cleanup calculation model in RADTRAN, we
10 generated what the cost of cleaning up that release in an
11 urban area would be, and there are some pretty astronomical
12 cleanup numbers there.

13 Two points here. First of all, we believe DOE was
14 deficient in not looking at a range of values for the
15 consequences, the radiological health consequences of the
16 accident. Secondly, they totally ignored this potentially
17 horrific economic cleanup cost.

18 Similarly, looking at the way that DOE addressed
19 the successful act of sabotage against a truck cask in an
20 urban area, and the attack on the truck cask is acknowledged
21 to be greater than the rail cask because primarily of wall
22 thickness and the ability to penetrate that cask with
23 available weapons, based on a study that DOE commissioned by
24 Sandia, they came up with some very new numbers. Some of you
25 know this literature goes back to Sandoval's 1982 study. And

1 they concluded that there could be a sufficient release from
2 a truck cask if there's only 90 per cent penetration by an
3 explosive device used by saboteurs or terrorists. And this
4 would result in a 31,000 person rem population dose and 15
5 latent cancer fatalities.

6 Again, we ran the model they used, RISKIND, and we
7 replicated their results, and then we looked at their
8 reference which said, you know, if the weapon completely
9 penetrates the cask, then you get a ten fold increase in the
10 release. Now, we would argue that they still have not
11 captured the worst case analysis, and I'll be happy to talk
12 to this point in question and answer. But, again, our bottom
13 line here again is they neglected to do two things. They
14 should have given a range of values considering a range of
15 inputs to their model, and then they should have used their
16 economic calculator in RADTRAN to talk about what the cost of
17 cleaning up that release in an urban area would be. Again,
18 you see very specific impacts.

19 Other impacts I would argue are equally important,
20 but perhaps less catching of the imagination than these
21 radiological ones are. The under estimation of the
22 requirements for building the rail spur, certainly we're
23 talking about \$400 million to perhaps a billion or a billion
24 and a half dollars to build a rail spur. DOE's estimates of
25 upgrading the highway infrastructure are off at least by a

1 factor of ten. It's going to be much more expensive,
2 particularly to upgrade these roads to handle heavy haul
3 trucks.

4 They've certainly under estimated the impacts on
5 Indian tribes and local governments, and they've ignored the
6 potential adverse socioeconomic impacts resulting from
7 perception of risk. They always turn to the Metropolitan
8 Edison case which we don't feel applies here. Any place
9 where we can show that there is an increase in routine
10 radiological exposures, we believe there is a basis for an
11 impact on the environment. And wherever there is an actual
12 impact on the environment that's measurable, they must
13 address the economic consequences of it.

14 Finally, we're concerned about their failure to
15 disclose to the public what they actually did in the draft
16 EIS. Now, what they actually did in the draft EIS was in my
17 opinion very illogical, and Steve Maharis (phonetic) and some
18 of the other technical people that worked on this project did
19 a good job once we were able to pick through their data
20 sheets and their model outputs. They actually ran the
21 routing models. They actually came up with a defensible base
22 case for the truck shipments across country. But then they
23 decided first not to reveal what they had done in the draft
24 EIS. Secondly, they decided not to reveal what they had done
25 in the notices for the public hearings. And, thirdly, for

1 the most part in the public hearings, both in Nevada and
2 around the country, they did not talk about what they had
3 actually generated with their routing and shipment models as
4 the basis of their impact analysis.

5 This is not a properly labeled map because I just
6 got this last Monday. This is one of the products that the
7 Transportation Research Center at UNLV is doing for us, and
8 this is what DOE's base case truck shipment analysis used in
9 the Chapter 6 analysis, documented in Appendix J, documented
10 in the worksheets that you can find on DOE's website. This
11 is what their shipment map looks like. We think it would
12 have been so much better for everyone else if they had just
13 revealed in the document what they actually did.

14 Finally, there are some additional areas, loose
15 ends where we're doing additional research. One is a study
16 of the I-215 beltway. We're doing mapping and GIS coverage
17 update. We're doing some interesting work supporting Miles
18 Greiner at UNR, who incidentally, as far as I know, is the
19 first researcher to be simultaneously funded by DOE and by
20 the State of Nevada to work in this case in a very important
21 area of benchmarking the new Cafe Fire Code that's being
22 developed at Sandia, and also looking at some of the testing
23 issues involved in the performance of casks in severe fires.

24 Later this summer, Professor Shashee Nambian
25 (phonetic) at UNLV, who was in a previous life a military

1 aircraft designer, and now a transportation engineer, will
2 look at some of the specific issues involving unique local
3 conditions in Nevada, and accidents that may exceed the
4 national reasonably foreseeable accidents. Because,
5 remember, we have a lot of airplanes both carrying live
6 munitions and some potentially dangerous dummy munitions,
7 i.e. steel tipped, 1000 pound concrete bombs. This is an
8 issue that DOE identified, to its credit, in 1986 in the
9 draft EIS for Yucca Mountain. 14 years later, they have not
10 resolved the issue of military over-flights.

11 Finally, we're doing some work on radiological
12 sabotage response training for first responders at UNLV.

13 Let me quickly run through these last two points
14 about dealing with the NRC. Many of you know we filed a
15 petition last summer for rulemaking with the NRC. It was the
16 last major piece of work that I did before I was swallowed by
17 the draft EIS. And the petition was accepted and docketed,
18 published in the Federal Register. Comment period was
19 extended. Comment period closed at the end of January.
20 There are about two dozen comments. These are all available
21 for you to review, as well as the full text of our petition,
22 at the NRC's rulemaking website.

23 What we asked the NRC to consider in the petition
24 were two specific actions. One is to move right now based on
25 what we know about the terrorism and sabotage, to make

1 specific changes in our 10 CFR 73, which would better deter,
2 prevent and mitigate the consequences of radiological
3 sabotage against shipments.

4 We also asked for a second action, that the NRC
5 should conduct a new and comprehensive assessment of the
6 consequences of terrorist attacks that have the capability of
7 radiological sabotage in three areas. The first, attacks
8 against infrastructure. The second, attacks involving
9 capture and use of explosives. And, third, the use of
10 weapons that don't require attack.

11 Now, many of you who know this literature know that
12 the second point is what the NRC has addressed in the past,
13 and is the type of an attack scenario that DOE addressed in
14 its study.

15 The grounds and interest that we have used to
16 support this petition, while they are very much affected by
17 DOE's proposal to build a repository, also reflect our
18 concern about the potential that Congress will insist on
19 siting an interim storage facility in Nevada. And in our
20 petition, we review a number of issues that have to do with
21 changes in the terrorist threat, and what we believe is the
22 increased vulnerability of shipping casks to attacks with
23 high energy explosive devices.

24 I checked on Friday, there had been no action on
25 the petition. The way it goes with big petitions is the NRC

1 has a lot to chew on, and they usually take their time. We
2 have reviewed in preparing for our petition all of the
3 relevant petitions that have been submitted in the last 15
4 years. I'll be very surprised if we hear anything from the
5 NRC before September or October. But I would be delighted to
6 be surprised by some early action.

7 Finally, let me talk about the process that Rob
8 Lewis talked about earlier. It's really nice to be able to
9 end a presentation on a happy note. So let me first of all
10 give you the unhappy note. The NRC is doing two things to
11 update the modal study. One is they've published this risk
12 reassessment prepared by Sandia, NUREG-6672. And we're
13 extremely unhappy, both with the process they used and the
14 results of that study.

15 There was not appropriate stakeholder input or peer
16 review, and they repeat many of the mistakes that we felt
17 were done in the modal study. For example, the use of codes
18 that haven't been properly benchmarked. But that's another
19 debate for another time, and anyone who wants to see that can
20 either come to Las Vegas on August 15th, or come to the NRC
21 auditorium in Rockville on September 13th. I guarantee you
22 that sparks will fly.

23 But there's something really good that I can end
24 this discussion on, and that is whether it's the influence of
25 the new chairman or whatever policy, this commitment that the

1 NRC seems to have made to enhance public participation, my
2 goodness, it actually seems to be happening.

3 Now, last night, my airplane circled the Salt Lake
4 City airport as I watched the lightening storm that some of
5 you were probably stranded by on the ground, so I had time to
6 read the scoping study that came in the mail on Friday
7 morning. And this is Sandia's summary of all the public
8 comments, stakeholder comments that have been thrown into
9 this process, and I am going to tell you that I was astounded
10 by how refreshingly objective and open minded it was.

11 Now, the folks at Sandia know my biases over the
12 last 20 years as well as I know theirs, so I want to today
13 give them credit for having the discipline to stand beyond
14 both work they've done in the past and what I know to be
15 their personal opinions about certain issues, like testing
16 and different types of analysis, and really applaud a very
17 objective piece of scoping work. I would hope that the Board
18 would follow this proceeding, because as I said, it's one of
19 the few encouraging things that I've seen happen in the 20
20 years that I've been working on nuclear waste transportation,
21 and I only hope that the NRC will follow through and give the
22 same kind of weight to the opinions of the stakeholders that
23 they seem to be doing.

24 I'm very sorry for taking so much time on the
25 prepared part of this presentation. I really do appreciate

1 the opportunity to update you on what we've been doing in the
2 State of Nevada.

3 Thank you very much.

4 ARENDR: Question from the Panel? Dan?

5 BULLEN: Bob, this is just by way of a little
6 clarification. In the bounding analysis done in the draft
7 EIS on mostly rail versus mostly truck, DOE tried to put
8 their arms around a big problem. And I kind of agree with
9 you that they're going to actually use what capabilities
10 exist at the nuclear facilities and determine it.

11 Can you explain to me why you think that the
12 bounding analyses didn't put their arms around the whole
13 picture?

14 HALSTEAD: That's a really good point. I haven't
15 evaluated all of the impacts from the standpoint of mostly
16 rail or mostly truck and our in between current capabilities.
17 The one easy one that was obvious for us to do is to
18 actually look at the routes that DOE had picked for shipments
19 from specific reactors to Yucca Mountain, then use our format
20 or our matrix of who ships by rail and who ships by truck.
21 And what I found is that--and I'm sorry, I have to look this
22 up to get you the exact number--but there is a major
23 difference in the number of states that are affected by both
24 rail and truck shipments, and the number of states that are
25 affected by a variety of routes.

1 So just from the standpoint of preparing the
2 corridor states, the local jurisdictions and the Indian
3 tribes for their participation and transportation planning,
4 their consideration of alternative routes, the things that
5 Jim was talking about, because Tim's comment about training
6 first responders, we all get hung up on this, you know, that
7 is something that's difficult to do in advance, but
8 everything else should be done seven to ten years in advance.
9 So the EIS is a very good tool for predicting who is likely
10 to be affected, what routes are affected, what modes they
11 have to deal with. Dealing with a truck accident is very
12 different than dealing with a rail accident.

13 So on that issue alone, I would argue you get a
14 much more realistic assessment of the national impacts of
15 transportation by running that in between scenario. But I'll
16 be honest. I think there's always use in doing a bounding
17 scenario, and I hate to say this because I'm a pro-rail
18 person for safety reasons, but we've been looking at both the
19 economic and institutional issues with rail, and if I were
20 advising a client who is putting in a bid for one of those
21 regional servicing agreements--and, Jim, I might end up doing
22 that--I'm telling you there would be a strong case to move
23 everything by legal weight truck, if you put aside the safety
24 and institutional things.

25 Remember, DOE's market driven approach says we're

1 looking for people to do this on more or less a fixed cost
2 contract, and so I think it's actually to DOE's credit that
3 they put the 100 per cent truck scenario in there, because
4 unfortunately, that might be a lot more probable than most of
5 us who are involved in transportation would like.

6 In order to maximize rail the way that they've laid
7 it out, I mean, they have to do some exotic things. I mean,
8 they have to barge big rail casks out of the Kiwaunee and
9 Point Beach reactors and take them into the Port of
10 Milwaukee. They've got to take big rail casks and put them
11 on barges and take them into the Port of Baltimore. Having
12 worked in the Coastal Management Program in a previous life,
13 and I know that some people will argue that there's a
14 precedent with the Shorem shipments to Limerick, those
15 occurred because they were not very radioactive. And in the
16 end, even the environmentalists like Marvin Resnick advised
17 the people involved, you know, don't spend a lot of time
18 fighting these shipments. The radiological risk really isn't
19 here.

20 I think it will be very different when people come
21 up with these exotic intermodal movements on the reactor to
22 mainline in. So that's why I go back to saying that I think
23 the in between current capability scenario is the most likely
24 one and the best for planning purposes. I like doing the 100
25 per cent truck, because that might be what happens. And I

1 don't have a problem with DOE setting out that mostly rail as
2 a target that would be preferable in terms of reducing the
3 number of shipments, but they have not at all dealt
4 realistically with the institutional and technical issues and
5 the costs, and indeed, the simple absence of commitment.

6 You don't hear DOE folks coming out and saying that
7 they're strongly committed to maximum use of rail. And, in
8 fact, even in the RFP, there's kind of a fuzzy little
9 sentence in there that says, well, we'll hope that the people
10 who submit proposals are going to maximize rail. There's a
11 simple solution to that. You make maximization of rail one
12 of the criteria that you use in selecting the successful
13 bidders. There are a number of ways to address this
14 institutionally, either in a program document like the EIS,
15 or in a procurement action.

16 Anyway, I'm sorry, but I think in some ways, this
17 is the single most important uncertainty about the
18 transportation system. So there are some good reasons for
19 DOE doing that bounding scenario. But I think you have to
20 have that in between one.

21 BULLEN: Bullen, Board. Just a little follow-up
22 question to that one, and maybe you lost me in the
23 explanation of the differences between not getting your hands
24 around the bounding case, but besides the route selection and
25 the differences that you would have had and heroic measures

1 to move large casks in and out of plants that don't have rail
2 spur access, is there a significant difference in, say, the
3 person rems calculated for each of the--I mean, does the
4 person rem calculation found the case, I guess is the
5 question, from your perspective?

6 HALSTEAD: That is such a technically difficult question
7 to answer that I'm going to give you my apology first for not
8 having a good answer, because we're still trying to figure
9 out how we will deal with this.

10 Our assumption is that DOE will not do a much
11 better job in the final EIS than they did in the draft, and
12 so some of the things I'm working on I won't share with you
13 because they're part of litigation strategy. However,
14 understand that in Nevada, these impacts are very different
15 than they are nationally.

16 To the extent that there may also be unique local
17 conditions between particular reactor origins where, you
18 know, those nefarious pickup and delivery routes, as they're
19 called, where you have to use local highways, it may also be
20 that there are locations where the routine exposures are a
21 problem. But clearly in Nevada, there are--there are two
22 aspects to this. One is when you do an aggregate analysis
23 using a tool like RADTRAN, it's very important that you (a)
24 use the most recent population data, and (b) you have to put
25 the non-resident population data in.

1 So on those grounds alone, I would argue that
2 whether we're prepared to say there's a big difference
3 between rail and truck, we're prepared to say that there is
4 an insufficient analysis to allow a rational decision based
5 on the fact that DOE did not have the right population inputs
6 when it applied RADTRAN for the Las Vegas valley.

7 But beyond that, there is the issue of impacts
8 along these unusual routes. I mean, for example, you come
9 into Ely on US 93, and you have to make a turn to catch US 6
10 to go across the middle of Nevada, and I've stood there with
11 my stop watch timing trucks making that left-hand turn at
12 that light, and there are people's homes and businesses
13 within 30 meters of that lane. You have to go and use
14 another tool. One tool is the RISKIND model, which has some
15 potential, and again, we are just getting an understanding of
16 this enough to do that. But there also are some hand
17 calculations that you can do using the exposure rates and
18 exposure time and calculate it.

19 So I have a feeling that the one thing that might
20 work against the economics of truck is when we start looking
21 at the routine radiological exposures from truck delivery in
22 Nevada. There are going to be big time exposures. They're
23 not going to be exposures that can be just written off, you
24 know, as a fraction of background. We're talking about
25 significant percentages of the average annual background

1 radiation being added onto what people already receive.

2 So I guess in that, I would say that I think on the
3 routine radiological issue, probably rail looks much better,
4 and that is certainly the approach that Nevada has taken all
5 along. And I know people, you know, many people are offended
6 by our strident adversarial critiques of DOE, and I
7 appreciate that. It's also important to remember that we
8 have taken formal policy positions on most of these issues.
9 I mean, we've had a position out there since 1990 that says
10 all other things being equal, rail is the way that you should
11 go for safety reasons. It hasn't been backed up by a precise
12 radiological impact analysis. And then we've added on the
13 same issues that the AAR is concerned about, which is
14 equipment design, dedicated trains, and the safety protocols.

15 So to that extent, you know, we've taken a position
16 that the preferred mode ought to be rail, but that doesn't,
17 unfortunately, solve DOE's problems in figuring out how to
18 get the rail casks from 30-some reactors that have difficult
19 access, and then how to get all of them to Yucca Mountain
20 where the newest existing rail line is about 105 miles on a
21 straight shot, and some of the routes, frankly, are almost
22 unbelievable at 300 to 380 miles. You're talking about the
23 biggest new rail construction job in this country since World
24 War I, and through some difficult terrain. And in the old
25 days, we could have built those without NEPA and without

1 OSHA. You know, now it's a very difficult thing to build
2 railroads in rough terrain.

3 BULLEN: Bullen, Board. Just one last question. You
4 mentioned these analyses that you're doing in your modeling.
5 Are you going to have your results done end of the year, or
6 sometime soon, and would you be able to share those, I guess
7 is the question? And that's probably it.

8 HALSTEAD: We've been struggling with it, because our
9 past practice has been as soon as we've completed our
10 internal reviews, we've posted them on our website. We
11 haven't always published them in hard copy with document
12 numbers. To be frank with you, the last set of analyses that
13 we've done with RADTRAN and RISKIND, both for the sabotage
14 and the accident consequences, are so startling in terms of
15 the radiological health consequences and the economic
16 analyses, that I'm not comfortable putting them out yet until
17 we subject them to some type of a fierce internal peer
18 review. And budget limitations have kept us--some of you
19 know that in the past, we had a very formal internal peer
20 review process with outstanding transportation folks like
21 Edith Page, who had been at OTA, and Mike Bronzini, who was
22 head of the transportation center at Oak Ridge, and we
23 haven't had the funding for that kind of internal peer
24 review.

25 But, yes, as soon as I'm satisfied with them, they

1 will be posted electronically, and then we'll decide what
2 peer review before we do, and publish it.

3 BULLEN: Thank you.

4 ARENDT: Any other questions?

5 (No response.)

6 ARENDT: Thank you very much. Our next speaker this
7 afternoon is Fred Dilger from Clark County, Nevada. He is
8 going to speak on the views of affected local governments on
9 spent fuel transportation. Fred is with the Comprehensive
10 Planning and Nuclear Waste Division in Clark County. He's a
11 transportation planner.

12 DILGER: Good afternoon. I'm very glad to be able to be
13 here to talk with you today, although frankly, Charlie
14 Dettmann has ruined my airplane flight home.

15 I'm going to go through some of the concerns that
16 the affected units of local government have with the DEIS.
17 I'm going to try and not repeat a lot of what Bob said, but
18 we are going to flog a dead horse in some areas.

19 I'm going to talk about three things in particular.
20 The first are cumulative effects, the next is transportation
21 assessment concerns. We've generally divvied those up into
22 three areas; national, those that are of unique concern to
23 the affected units of local government, and the last,
24 generally program-related that relate to the management of
25 the program. The last thing I'm going to talk about is

1 emergency response.

2 I'm not going to read this to you. I want to just
3 talk about the bottom line is this last bullet here. The
4 Department of Energy's draft environmental impact statement
5 for the Yucca Mountain project did not address the shipment
6 of low level waste and other kinds of waste to the Nevada
7 Test Site. The reason this is especially important to us is
8 because, as you know, the Waste Management Programmatic EIS
9 was--a record of decision of that was published last year and
10 we are now expecting very, very, very increased volumes of
11 waste will be now shipped to the Nevada Test Site.

12 When we received the Nevada Test Site's EIS, we
13 noticed that it did not comment on the shipment of waste to
14 Yucca Mountain, and we made that comment. We said you're not
15 talking about this other waste stream and what its likely
16 impacts are. The response we got was, well, it will be in
17 the Yucca Mountain EIS.

18 When we reviewed the Waste Management Programmatic
19 EIS, there was no comment in there of the shipments to Yucca
20 Mountain. When we commented on that, the response we got
21 back from the Department of Energy was, well, that will also
22 be in the Yucca Mountain EIS.

23 It was not in either. The Department of Energy has
24 a lamentably consistent way of doing EIS's, and this is
25 certainly an example of that.

1 The reason these impacts are substantial, this map
2 doesn't come up very well in black and white, last year we
3 reached the end of a seven year process of we thought was a
4 cooperative effort between ourselves in Clark County, other
5 affected units of local government, the state of Nevada, and
6 the Department of Energy to try and reach conclusions and to
7 get some kind of consistent routing for low level radioactive
8 waste.

9 Jim earlier mentioned the frustration that local
10 governments had because of dealing with the different DOE
11 facilities and trying to get some kind of consistent policy
12 out of them. We have been unable to do so.

13 Last year, we thought we finally reached that
14 moment where we would be able to cooperate with the DOE and
15 they would address concerns that are especially important to
16 Nevada.

17 A couple weeks ago, we got the report for the
18 second quarter of low level waste shipments to the Nevada
19 Test Site. It now turns out that we had waste travelling on
20 city streets in three of the five most dangerous traffic
21 areas in the state, all in violation of the agreement that we
22 thought we had with the Department of Energy.

23 If the Department of Energy wanted to antagonize
24 elected officials in Southern Nevada, particularly Clark
25 County, if they had set out to do that, they could not have

1 done it in a better way than they have done.

2 Now, to move to the DEIS concerns, I'm not going to
3 read all these bullets. The first one I want to talk about
4 is the single route strategy. This was something that Bob
5 Halstead kind of alluded to in his presentation. We think
6 that the Department would have been much better advised had
7 they assumed different routing alternatives that would have
8 (a) spread the risk of the waste movements a little bit more
9 equitable, as well as avoided weather and other conditions
10 that, frankly, the industry has no experience transporting
11 waste in.

12 There's very little experience transporting waste
13 in winter weather, very inclement weather, and these are
14 things that they should have thought about. We think it
15 indicates a very shallow analysis on their part.

16 The other bullet I want to highlight here is for 20
17 years, scholars have been studying the impact of human error,
18 institutional failure on risk. For 15 years, the state as
19 well as the affected units of local government have been
20 advising the Department of Energy that they need to consider
21 this in their risk analysis.

22 In the DEIS, they allude to it and then proceed to
23 ignore it. We think that's a major failing. We hope that
24 now that the Forest Service has actually burned down a part
25 of a national lab, the Department of Energy may be spurred

1 into action on this particular topic.

2 Some AULG concerns, I'm going to flog a dead horse
3 here. DOE called it an implementing alternative. The fact
4 is that until there's a definite route that has been defined
5 through Nevada, we're all left hanging. We don't know which
6 areas to analyze. We don't know which of the affected units
7 of local government will be most impacted. It keeps the
8 doubt out there.

9 Additionally, once again, it corrodes trust in the
10 Department. In 1985 in the EA for Yucca Mountain, we were
11 told that in the EIS, the final route selection would be
12 made. In 1995, the Department of Energy released this report
13 that said the final route selection will be made in the EIS,
14 and that the AULGs will have a part in selecting that route.
15 None of that happened. None of that was even alluded to in
16 the EIS. Once again, this is something that elected
17 officials look at and use to gauge the reliability and
18 trustworthiness of the Department.

19 The other bullet I want to talk about here is that
20 the proposed action in the DEIS is extremely complex and
21 deserved much greater attention to detail and some in depth
22 thought. I was prepared to do highway capacity software
23 analysis and lane congestion analysis and all sorts of other
24 efforts to get--as a part of reviewing this EIS. None of it
25 was necessary because the details weren't there.

1 It is possible that the Department doesn't think
2 that there is a significant impact from this action, but it
3 hardly seems credible. I want you to imagine a frontage
4 road, not much different than the road in front of this
5 hotel, carrying a 200 foot long heavy haul tractor trailer,
6 escorts on either end, 300 feet long total, with a 125 ton
7 rail cask on top of it, up and down four times a day, two
8 empty, two full, with 20,000 other cars during the morning
9 and evening rush hour. Do you think there would be some
10 impact with that? Do you think that's something the
11 Department of Energy should have anticipated? We think they
12 should have looked at that.

13 One of the things that local governments do a lot
14 of, and they do it very well, is they look at impact
15 analysis. It's bread and butter. And, frankly, if you were
16 constructing a Burger King in Nevada, you'd have to do a
17 better job and a more penetrating analysis than was done in
18 this EIS.

19 Some program concerns. There's that dead horse
20 again. Once more, we've been left out in the cold on
21 implementing alternatives. We just don't know which route
22 will be chosen through Nevada. Another interesting question
23 is, as we saw in this other slide, the Department indicated
24 that they would identify criteria by which to evaluate
25 routes. Presumably one of those is human health risk. This

1 goes partly to the question you asked, Dr. Bullen, now that
2 we know--or let's say we get very good, reliable human health
3 risks, how will those be weighted against other factors like
4 cost and other potential considerations? That's unclear in
5 the EIS.

6 Three years ago--let me talk about this bullet
7 here--three years ago, I was at the State of Nevada Committee
8 on Roads and Highways. These are the legislators who oversee
9 the expenditure, construction and maintenance of our highway
10 system.

11 A DOE staff member was there briefing them on the
12 Yucca Mountain program. He had detailed engineering drawings
13 that showed curve cuts and all the different things that
14 would be required to move heavy haul vehicles. One of those
15 things would have been to tear down the oldest adobe
16 structure in Nevada. All of this detail had been thought
17 through.

18 When he finished his presentation, the legislators
19 asked him some questions. Who will build this? Who will
20 maintain it? Where will the money come from? The DOE
21 official had no answer for that.

22 My boss was sitting next to me. He was my then
23 boss. He was the Director of the Department of
24 Transportation. He jumped right up, grabbed the microphone,
25 and said we're not building any of this. The Department is

1 going to have to build it themselves, because we're not going
2 to build it. Here again, the Department has not thought
3 through how they're going to do this.

4 Bob talked about the additional costs of this. We
5 agree with the state and we believe the Department has
6 grossly under estimated what it's going to cost. One of the
7 things they didn't include in their cost estimates was the
8 cost to acquire right-of-way.

9 In one particular case, let me give you an example,
10 the City of Las Vegas has pinned all of its hopes for future
11 growth on the Las Vegas Town Center. It's going to be a
12 densely developed industrial and commercial area at the
13 intersection of US 95 and the northern beltway. To acquire
14 right-of-way to expand to an extra wide lane that would
15 accommodate a heavy haul truck is going to be extremely
16 expensive. And here again, the Department did not consider
17 that.

18 Another aspect of this is Las Vegas, nor
19 surprisingly, has air quality problems, and so for the
20 construction of any of these facilities that they mention in
21 the DEIS, an air quality conformity finding is going to have
22 to be done, and it's going to have to fit into the regional
23 transportation plan. No thought of those interactions was
24 considered in the EIS, and we think those are substantial
25 weaknesses.

1 Finally, this quote is kind of a popular bullet.
2 It's been attributed to Dorothy Parking talking about
3 Oakland. She could have been talking about the DEIS. There
4 are three pieces of information related to emergency
5 management in the DEIS. The number of people that die, they
6 die of latent cancer fatalities for a truck accident, a rail
7 accident, and the circumference of a spill, 100 to 300 feet.
8 That's it.

9 We took the DEIS to our statement emergency
10 response committee, to our local emergency planning
11 committee, and we said what would you need to respond to this
12 accident? They came back to us and said we have no clue.
13 There is not enough information.

14 This goes to your question, and the question that
15 you asked Jim Reed earlier, we're not even at the point where
16 we could begin to estimate what those dollars might be, or
17 even what the time sequence might be, because we don't have a
18 design accident, which is the maximum reasonably foreseeable
19 accident. That is mentioned in the EIS, but nowhere
20 described. We think that's a substantial weakness.

21 The whole reason for doing an EIS is to establish
22 the basis for mitigation negotiations. That's why you do it.
23 And that means that the information has to be presented to
24 the people who are affected by it, and that information is
25 not in the EIS, and we think the EIS will not be sufficient

1 until after many other changes are made, but especially this
2 one.

3 So to conclude, I've got a request for the NWTRB
4 and a recommendation. The request is that we would ask you
5 to insist that the DOE address the NRC comments. The AULG
6 comments are very good. The NRC comments were also very
7 good, and we would be very, very pleased if the Department
8 would respond to the NRC comments. That would give us a lot
9 of confidence.

10 We agree with Bob that the NRC's public involvement
11 program over the modal study has been just a watershed, and
12 they are doing a great job. They did a great job on the
13 DEIS, and we would like to see them answer those comments.

14 So my recommendation is to Don Doherty, and that is
15 to build the extension to that shed, because frankly, the
16 Department of Energy has given--handed opponents to this
17 project 15 years worth of ammunition from a litigation
18 standpoint.

19 So with that, I'll answer any questions.

20 ARENDR: Any questions? Comments?

21 (No response.)

22 ARENDR: Well, then we've reached the end of our
23 session. I want to thank each of the participants for some
24 very good presentations.

25 We have no questions and comments from the public,

1 so in the absence of that, I will ask anybody here in the
2 audience, anybody who would like to make any comment?

3 (No response.)

4 ARENDT: And hearing or seeing that there isn't anyone,
5 I move that we adjourn. And thank you all for coming.

6 (Whereupon, at 4:25 p.m., the meeting was
7 adjourned.)

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1

2