

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25  
26

UNITED STATES  
NUCLEAR WASTE TECHNICAL REVIEW BOARD

INTERNATIONAL WORKSHOP ON LONG-TERM EXTRAPOLATION  
OF PASSIVE BEHAVIOR

Thursday  
July 19, 2001

Hilton Arlington & Towers  
950 North Stafford Street  
Arlington, Virginia 22203

1

2

NWTRB BOARD MEMBERS PRESENT

3

4

Dr. Daniel B. Bullen, Chair,  
NWTRB Panel on the Repository

5

6

Dr. Paul P. Craig

7

Dr. Alberto A. Sagüés

8

Dr. Priscilla P. Nelson

9

10

SENIOR PROFESSIONAL STAFF

11

Dr. Carl Di Bella

12

Dr. Daniel Fehringer

13

Dr. Daniel Metlay

14

Dr. Leon Reiter

15

Dr. John Pye

16

17

NWTRB STAFF

18

Dr. William D. Barnard, Executive Director

19

Paula Alford, International Liaison

20

Karyn Severson, Director, External Affairs

21

Linda Hiatt, Management Analyst

22

Linda Coultry, Staff Assistant

23

24

1

2

3

4

CONSULTANTS

5

6 Ugo Bertocci,

7 National Institute of Standards and Technology, Retired

8

9 Gustavo A. Cragolino,

10 Center for Nuclear Waste Regulatory Analyses (SRI)

11

12 Alison J. Davenport,

13 University of Birmingham

14

15 Jerome Kruger,

16 Johns Hopkins University, Emeritus

17

18 Digby D. Macdonald,

19 The Pennsylvania State University

20

21 Barry R. MacDougall,

22 National Research Council Canada

23

24 Phillipe Marcus,

25 L'Ecole Nationale superieure de Chimie de Paris

26

27 Roger Newman,

28 University of Manchester Institute of Science and Technology

29

30 Howard Pickering,

31 The Pennsylvania State University

32

33 Robert A. Rapp,

34 Ohio State University, Emeritus

35

36 Norio Sato,

37 Hokkaido University, Emeritus

38

39 Toshio Shibata,

40 Osaka University, Emeritus

41

42 Susan Smialowska,

43 Ohio State University, Emeritus

44

1 Hans-Henning Strehblow,  
 2 Heinrich-Heine University Duesseld  
 3  
 4  
 5  
 6  
 7  
 8

I N D E X

PAGE NO.

<b>Call to Order/Welcome</b>	
Daniel Bullen, Member, Nuclear Waste Technical Review Board (NWTRB) and Chair of the NWTRB's Panel on the Repository . . . . .	7
<b>Introduction of Panelists. Background and Scope of Workshop</b>	
Alberto Sagüés, Member, NWTRB. . . . .	14
<b>Overview of Proposed Waste Package Designs and Waste Package Environments</b>	
Carl Di Bella, NWTRB Professional Staff . . . . .	27
<b>Overview of Research on Alloy-22 corrosion Questions 1 and 2</b>	
Alberto Sagüés . . . . .	37
<b>Initial Responses to Questions 1 and 2</b> (Questions are included at the end of this index.)	
Panelists . . . . .	52
<b>Roundtable Discussion of Question 1</b>	
Panelists . . . . .	73
<b>Recess . . . . .</b>	246

**Question 1: On the effects of long-term passive dissolution.**

-Since commercial alloys are being used to manufacture the waste packages and due to "atmospheric" corrosion conditions in the repository, it has to be assumed that most of the effects described in the speculative scenarios (defect sweeping, vacancy build up, debris accumulation, potential ennoblement) do not necessarily occur uniformly over the whole passive surface of a WP (Waste Package). Therefore, if these effects are really occurring during the long-term exposure, and if these are also effective to promote passive metal dissolution, they will lead to some degree of inhomogeneous metal loss. In case of oxide spalling, it is assumed that repassivation occurs fast enough and no localized corrosion takes place.

-According to our experience from exposure tests in long-range alpine road tunnels in Switzerland and in France up to 25 years, we never observed this scenario on passive metal surfaces. Instead, external debris accumulation from environmental influences occurs much faster and may lead in case of hindered repassivation to enhanced localized corrosion processes. These debris accumulations are not necessarily connected to the passive state of the materials, but are rather caused by the environment in the repository.

-Our results from the field tests in the Mont-Blanc Tunnel lasting for approximately 8 years show that the nickel-base alloys (Inconel 2.4856, Hastelloy C4 2.4610) do not corrode at all in this heavily contaminated atmosphere of long-range alpine road tunnels, contrary to 304 and 316 SS which show severe corrosion already after one year. (Pollution: Chlorides, sulphates, sulfides, nitrates, RL plus or minus 78 percent, T plus or minus 35 degrees C.)

**Question 2: On the long-term preservation of conditions preventing localized corrosion.**

a)

-Critical pitting potentials quoted in the literature are usually threshold potentials at or above which stable pit growth occurs. Pit initiation processes followed by metastable pitting may already occur at much lower potentials. This leads to the concept of "metastable pitting". Therefore, Question 2 should be rewritten more precisely: What is the lowest potential where metastable pits can be transformed into stable pits under certain given environmental conditions. (In case of Ni in highly conc. NiCl<sub>2</sub> - solutions this potential is approx. -50 - -100 mV sce at RT)

-If the transformation from metastable to stable pitting is mainly controlled by the chemical composition of the pit or crevice electrolyte, the pit or crevice geometry of the initial pits and crevices, together with the mass transport in the bulk electrolyte are of decisive importance. High Cl concentrations (saturation) in the water films strongly promote this transition and decrease the corresponding critical pitting potential. Therefore, the expected environmental conditions in the repository, including temperature, play a key role with respect to the critical pit growth potential. It is important to consider these surface conditions as function of time. Our experience in long-range road tunnel investigations indicate that we get a gradual increase in concentration over the years.

-The open circuit potential is mainly influenced by the oxidizing conditions in the repository, in the present case probably air or eventually products from radiation.

b)

-Transition from metastable to stable pit growth depends on many parameters, such as potential, pH temperature crevice or pit geometry, etc. Some of them may not be directly related to Ecrit. Therefore, the necessary conditions for stable pitting always result from the behavior of the whole system. It also has to be looked at from a stochastic point of view.

c)

-Corrosion tests and surface analytical investigation of worst case repository conditions.

1

P R O C E E D I N G S

2

3

(8:30 a.m.)

4

BULLEN: Good morning. Thank you for your indulgence while we took care of some technical difficulties up here.

6

My name is Daniel Bullen. I'm a member of the U.S. Nuclear Waste Technical Review Board, and I'd like to welcome you to this International Workshop on Long-Term Extrapolation of Passive Behavior. This workshop is being conducted under the auspices of the Board's Panel on the Repository, which I chair. I will be serving as the moderator and facilitator for most of the workshop. It's my please to welcome you to a workshop which is a little bit of a departure from the normal meeting format for the Nuclear Waste Technical Review Board.

15

First, I'd like to say a few words about who the Board is and what the Board does. As you may know, Congress enacted the Nuclear Waste Policy Act in 1982. The Act made

16

17

1 official the policy that the Federal Government is  
2 responsible for permanently disposing of spent nuclear fuel  
3 and high level radioactive waste, and that the owners and  
4 generators of the waste should pay for that disposal.

5           Among other things, the Act created the office of  
6 Civilian Radioactive Waste Management, or OCRWM, within the  
7 U.S. Department of Energy, and charged it with developing  
8 repositories for the disposal of the nation's spent nuclear  
9 fuel and high-level wastes for reprocessing. Five years  
10 later, in 1987, Congress amended that law to focus OCRWM's  
11 activities on the characterization of a single site for a  
12 permanent repository, Yucca Mountain, on the western edge of  
13 the Nevada Test Site, about 100 miles northwest of Las Vegas,  
14 in the State of Nevada.

15           In those 1987 amendments, Congress created the  
16 Nuclear Waste Technical Review Board as an independent  
17 Federal agency to review the technical and scientific  
18 validity of OCRWM's activities. The Board is required to  
19 furnish its findings, conclusions, and recommendations to the  
20 U.S. Congress and to the Secretary of the Department of  
21 Energy at least twice a year. We do this in Congressional  
22 testimony and through our written reports. We issued our  
23 latest report, a summary of last year's activities, about  
24 three months ago.

1           As specified by the 1987 Act, the President  
2 appoints our Board members from a list of nominees submitted  
3 by the National Academy of Sciences. The Act requires the  
4 Board to be a multi-disciplinary group representing a broad  
5 range of scientific and engineering disciplines related to  
6 nuclear waste management. A full-strength Board, which we  
7 now have, consists of eleven members. We meet as a full  
8 Board three or four times a year, usually in the State of  
9 Nevada.

10           I would like to introduce a few Board members and a  
11 few of the Board's staff at this time. As I mentioned, my  
12 name is Dan Bullen. I'm a Board member and a nuclear  
13 engineer in the Mechanical Engineering Department at Iowa  
14 State University. My areas of interest include nuclear waste  
15 management, risk modeling, and materials science.

16           Paul Craig--Paul, would you raise your hand please--  
17 -is professor emeritus at the University of California at  
18 Davis. He is a physicist by training and has special  
19 expertise in energy policy issues related to global  
20 environmental change.

21           Alberto Sagüés--Alberto, would you raise your hand,  
22 please? Alberto is Distinguished University Professor in the  
23 Department of Civil and Environmental Engineering at the  
24 University of South Florida in Tampa. He's an expert in

1 materials engineering and corrosion, with particular emphasis  
2 on the behavior of steel in concrete and in infrastructure  
3 durability.

4           We have one more Board member here. This is  
5 Priscilla Nelson. Priscilla, would you raise your hand?  
6 Priscilla is Director--or actually, yeah, Director in the  
7 Directorate of Engineering at the National Science  
8 Foundation, and a civil engineer by training. I want to say  
9 geotechnical engineer by training. Is that not correct? I  
10 don't have it written here, Priscilla, so I'm in trouble. I  
11 have to do this from memory. Priscilla is a Board member and  
12 previously served as Chair of the Repository Panel.

13           I also have a couple of staff members that I'd like  
14 to acknowledge. First, I'd like to introduce Bill Barnard.  
15 Bill, will you raise your hand? He serves as our executive  
16 director for the Board. Next to Bill is Carl Di Bella.  
17 Carl, would you raise your hand? He is the staff member who  
18 spent many hours on the phone and on e-mail organizing the  
19 many technical aspects of this workshop and communicating  
20 with our experts internationally.

21           I'd also like to introduce Linda Hiatt and Linda  
22 Coultrey. Linda Coultrey is right there. Is Linda Hiatt  
23 outside? The Lindas have been responsible for many of the  
24 logistical aspects of travel arrangements, getting everybody

1 here, organizing the room, and I'd like to express our  
2 appreciation for that. Unlike Board members who are part-  
3 time, these staff members serve on a full-time basis.

4 I'd like to talk a little bit about the agenda for  
5 today and tomorrow. In a few minutes, I'm going to turn the  
6 meeting over to Alberto Sagüés, who will introduce our  
7 distinguished panelists and explain why the Board is  
8 sponsoring this workshop. Carl Di Bella will then summarize  
9 to the panel the current repository and waste package design  
10 and the environment that the waste package will experience in  
11 a repository. Alberto will provide an overview of research  
12 on Alloy 22 related to nuclear waste disposal, and he will  
13 repeat the two questions about long-term corrosion that were  
14 furnished to the panelists about a month ago.

15 Each panelist will then give a very brief five to  
16 ten minute presentation on his or her initial response to  
17 those questions. Following the completion of the panelists'  
18 presentation, which should be around lunchtime, the entire  
19 remainder of the workshop, with the exception of the public  
20 comment periods, which I'll talk about later, the entire  
21 remainder of the workshop will be devoted to a roundtable  
22 discussion of the question among panelists. So this is going  
23 to be like a brainstorming session. And a little bit of  
24 apology to the general public, because it might get very

1 technical, but that's the purpose of this meeting, for us to  
2 understand the technical opinions of the international  
3 community.

4           As I said before, this is not a typical Board  
5 meeting. In a typical meeting, presentations are made, often  
6 by the DOE or its contractors, and the Board engages in a  
7 dialogue with each of the presenters, with the meeting Chair  
8 often leading that dialogue, or at least participating  
9 heavily in it. Here, my role as Chair will be somewhat  
10 different. I'll be more of a moderator, facilitator,  
11 timekeeper, and maybe even a referee, should we have some  
12 heated exchanged. Rather than ask many questions of my own  
13 during the roundtable discussion, I'll be more concerned  
14 about the questions asked of the panelists and questions by  
15 the Board members, Paul Craig and Alberto Sagüés, or the  
16 other panelists themselves.

17           I need to offer our usual disclaimer that everybody  
18 is clear on as we conduct this workshop. What you are  
19 hearing, and its significance, and the reaction by Board  
20 members are spontaneous by design. Those of you who have  
21 attended our meetings before, and I know many of you have,  
22 know that the members of the Board do not hesitate to speak  
23 their minds. I'm sure that goes for the panelists today,  
24 too. But let me emphasize that Board members and panelists

1 are speaking their minds. They do not speak on behalf of the  
2 Board. They're speaking on behalf of themselves. From the  
3 Board's perspective, the purpose of this workshop is  
4 information gathering. Any Board position that may develop  
5 would be taken only after the full Board has had a chance to  
6 process this information.

7           Now, let me say a few things about the  
8 opportunities we've provided for public comment and  
9 interaction during the workshop. This is something that is  
10 extremely important to the Board. By "public" I mean those  
11 who are not Board or staff members, or members of the panel.  
12 We try to give the public as many opportunities as possible  
13 to comment during our meetings. Today's public comment  
14 period will take place at the end of the roundtable  
15 discussion of Question 1, and tomorrow, at the end of the  
16 roundtable discussion of Question 2.

17           Board Member Paul Craig will chair the public  
18 comment session. Those wishing to comment should sign the  
19 Public Comment Register at the check-in table where Linda  
20 Hiatt and Linda Coultry were sitting on the way in. So, if  
21 you're interested in making public comment, please sign up  
22 and we'll hear your comments either today or tomorrow. Both  
23 of the Lindas will be glad to help you sign up and be  
24 prepared for the public comment period.

1           Now, let me point out, and I'll remind you again  
2 later, that depending on the number of people who sign up,  
3 Professor Craig may have to set a time limit on the comments  
4 that are made.

5           An additional opportunity for questions or  
6 comments, and continuing something that we've tried pretty  
7 successfully before, is you can submit questions or comments  
8 or concerns in writing to either Linda Hiatt or Linda Coultury  
9 during the workshop. If there's time and the question or  
10 comment is relevant to the discussion at hand, then I will  
11 read that question to the panel members during the course of  
12 the workshop. If I can't get the question or comment worked  
13 in during the workshop, I will hand that question to Paul,  
14 who will reserve the right to read that question, the same  
15 question, during the public comment period.

16           In addition, we always welcome written comments for  
17 the workshop transcript, and this workshop is being  
18 transcribed. Those who prefer not to make oral comments or  
19 ask questions during the workshop may choose this route at  
20 any time. We especially encourage written comments when your  
21 comments are more extensive than our workshop time allows.  
22 Please submit these written comments also to either Linda  
23 Coultury or Linda Hiatt, and they'll be happy to help you.

24           Are there any questions from the panel about how

1 we're going to operate the workshop?

2 (No response.)

3 BULLEN: Excellent. Seeing none, I will turn it over to  
4 my esteemed colleague, Dr. Alberto Sagüés to introduce the  
5 panelists and begin the process.

6 Alberto?

7 SAGÜÉS: Thank you, Dan.

8 Good morning. My name is Alberto Sagüés, and as  
9 Dan has explained, I'm also a member of the Board. I would  
10 like to welcome you, the panel, officially to the workshop,  
11 and tell you how absolutely elated I am that all of you could  
12 make it. We have truly work-class panel.

13 One of the things that pleases me the most is that  
14 so many people were able to accept our invitation to  
15 participate, despite the fact that there was two months or  
16 less notice. And several of you have long distances to  
17 travel. I think this testifies to the importance of the  
18 issue we are addressing, as well as its intellectual  
19 challenge.

20 Stating the overall issue is simple. In the United  
21 States Repository Program, and this may be true in some other  
22 countries as well, the waste package, that is the container  
23 the waste will in when its placed in the repository, has come  
24 to have a very important long-term role.

1           The proposed outer layer of the waste package is a  
2 two centimeter thick shell of Alloy 22. Alloy 22 is a very  
3 corrosion resistant material that depends on a nanometer  
4 thick passive layer for its corrosion resistance.

5           Now, mankind's experience with Alloy 22 is only a  
6 few decades, and mankind's experience with alloys like Alloy  
7 22 spans only a few more decades. And mankind's experience  
8 with any metal or alloy that owes its corrosion resistance to  
9 a passive layer is at best not much more than a century.

10           By the way, I fully expect to be challenged on this  
11 particular issue during the workshop by members of the panel,  
12 and you're welcome to do so.

13           So if our experience is limited to a century or so,  
14 what are the theories and the assumptions that form the basis  
15 for extrapolating for thousands and thousands of years? In  
16 other words, what is the basis for extrapolating? That's  
17 what I'm trying to get at here. Do we really have one? Why  
18 or why not? And in a nutshell, that's what the workshop is  
19 all about.

20           I think everyone on the panel knows each other.  
21 But both for the record and to refresh our memories, I would  
22 like to introduce each panelist briefly, and I would ask you  
23 to please raise your hand when I call your name.

24           We'll start with Dr. Ugo Bertocci. He holds a

1 doctorate in chemistry from the University of Milan. He  
2 worked for the National Institute of Standards and  
3 Technology, NIST, for more than 20 years, and retired about  
4 nine years ago. Now, NIST, of course, used to be the Bureau  
5 of Standards.

6           More recently, Dr. Bertocci has done research at  
7 the Federal Highway Administration, again at NIST, and he has  
8 collaborated extensively with the French CNRS. His research  
9 interests have always been in the field of electrochemistry.

10           Dr. Gustavo Cragolino is a staff scientist in the  
11 Center for Nuclear Waste Regulatory Analyses at Southwest  
12 Research Institute in San Antonio, Texas, where he has been  
13 conducting experimental research and modelling of corrosion  
14 and thermal stability of metallic container materials for  
15 high-level radioactive waste disposal since 1990. He holds a  
16 Licenciado and doctorate degrees in chemical sciences from  
17 the University of Buenos Aires in Argentina, and has worked  
18 before in the Argentina Atomic Energy Commission, the Fontana  
19 Corrosion Center at Ohio State, and Brookhaven National  
20 Laboratory.

21           Dr. Alison Davenport is a lecturer at the  
22 University of Birmingham in the School of Metallurgy and  
23 Materials. Now, that's Birmingham in the UK and not in  
24 Alabama. She has a doctorate in Materials Science and

1 Metallurgy from the University of Cambridge. Her research  
2 interests include the structure, chemistry and stability of  
3 passive oxide films, and the effect of microstructure and  
4 alloying additions on corrosion and surface treatment of  
5 metals. She's also a Brookhaven alumna, spending eight years  
6 there as a scientist in the late Eighties and early Nineties.

7           Professor Jerome Kruger, Jerry Kruger, received a  
8 Ph.D. in physical chemistry from the University of Virginia,  
9 and joined the Naval Research Laboratory. Three years later,  
10 he went to the National Bureau of Standards, and eventually  
11 became Chief of the Corrosion Section. In 1984, he joined  
12 the faculty of John Hopkins University in the Materials  
13 Science and Engineering Department, becoming Emeritus in  
14 1999. He's a fellow of NACE, National Association of  
15 Corrosion Engineers, the Electrochemical Society and the  
16 Institute of Corrosion in the UK.

17           Professor Digby Macdonald is a professor of  
18 Materials Science and Engineering, and director of the Center  
19 for Electrochemical Science and Technology at Penn State. He  
20 has a Ph.D. in chemistry from the University of Calgary and  
21 BS and MS degrees in Chemistry from the University of  
22 Auckland. His research interests include passivity, nuclear  
23 reactor technology, and high temperature aqueous  
24 electrochemistry. And, of course, he's the developer over

1 the past two decades of the Point Defect Model for the growth  
2 and breakdown of passive films. Dr. Macdonald is a fellow of  
3 NACE and the Electrochemical Society.

4           Dr. Barry MacDougall leads the Electrochemical  
5 Technology Group at the National Research Council of Canada.  
6 He received his doctorate in electrochemistry from the  
7 University of Ottawa. His research interests include the  
8 formation and breakdown of passive oxide films on metals and  
9 alloys, with emphasis on the mechanism of film breakdown  
10 leading to localized pit initiation. His interests also  
11 include improving understanding of fundamentals of corrosion  
12 processes of metals and alloys through the use of surface  
13 electron spectroscopies to study the composition and  
14 structure of surface layers. Dr. MacDougall is a fellow of  
15 NACE and the Chemical Institute of Canada.

16           Professor Philippe Marcus directs the laboratory of  
17 physical chemistry of surfaces, part of the National Center  
18 for Scientific Research at the University of Pierre et Marie  
19 Curie in Paris, France. He received his doctorate in  
20 chemistry from the University of Pierre et Marie Curie. His  
21 research interests include the effect of atomic layers of  
22 absorbed sulfur on dissolution and passivation of metallic  
23 surfaces, the study of passivity of metals and alloys, the  
24 use of photoelectron spectroscopy toward the standard

1 relationships between the chemical nature of passive films  
2 and their corrosion resistance, as well. He co-chairs the  
3 Corrosion Electrodeposition and Surface Treatments Division  
4 of the International Society of Electrochemistry, and also  
5 chairs the Corrosion Working Party on Surface Science at the  
6 European Federation.

7           Professor Roger Newman is professor of Corrosion  
8 and Protection at UMIST, which is the University of  
9 Manchester Institute of Science and Technology in the UK. He  
10 has a doctorate in metallurgy and materials science from the  
11 University of Cambridge. He's been at UMIST for 17 years,  
12 but is another of the folks spending time at Brookhaven, in  
13 his case, four years, as a researcher in the early Eighties.  
14 He's a fellow of the UK Institute of Materials and of NACE  
15 and holds a doctorate degree from the University of  
16 Manchester. His research specialties are passivity,  
17 localized corrosion, and stress corrosion cracking,  
18 especially the formation of oxide films on alloys, mechanisms  
19 of growth of pits and cracks, and prediction of pitting or  
20 cracking thresholds.

21           Professor Howard Pickering is distinguished  
22 professor of Materials Science and Engineering at Penn State  
23 University. He has a Ph.D. from Ohio State University. His  
24 research interests include selective element dissolution from

1 alloys, localized electrochemical degradation processes, such  
2 as crevice, pitting and grain boundary corrosion, hydrogen  
3 evolution and its absorption and diffusion into metals, and  
4 surface reconstruction in metal electrodisolution and  
5 electrodeposition in aqueous solutions using the scanning  
6 tunneling microscopy and atomic force microscopy.

7           Professor Robert Rapp is distinguished university  
8 profession emeritus in the Department of Materials Science  
9 and Engineering at the Ohio State University. He has a  
10 doctorate in metallurgical engineering from the Carnegie  
11 Institute of Technology in Pittsburgh, a predecessor to  
12 Carnegie-Mellon University. By the way, our Board Chairman,  
13 Dr. Jared Cohon, is the president of Carnegie-Mellon these  
14 days. Dr. Rapp is well known in the areas of corrosion  
15 mechanisms, coating and protection, extractive metallurgy,  
16 and high temperature materials. He's a member of the  
17 National Academy for Engineering, and a fellow of four U.S.  
18 Societies, ASM, TMS, Electrochemical Society, and NACE, as  
19 well as two foreign societies.

20           Professor Norio Sato is emeritus professor at  
21 Hokkaido University. He received a doctorate in engineering  
22 from Hokkaido University in electrochemistry. He's an  
23 electrochemical scientist, specializing in corrosion and  
24 fundamental understanding of metallic passivity and its

1 breakdown. Professor Sato is a fellow of NACE, the Japan  
2 Society of Corrosion Engineering, the Institute of Corrosion  
3 in the UK, and the Electrochemical Society in the US.

4           Also from Japan we have Dr. Toshio Shibata, who is  
5 professor emeritus as of March of this year in the Department  
6 of Materials Science and Processing of Osaka University. His  
7 doctorate is from Hokkaido University. He has been concerned  
8 with the passivity of stainless steel and its breakdown,  
9 including pitting, and stress corrosion cracking.

10           Professor Susan Smialowska is professor emeritus at  
11 Ohio State University, and also the director emeritus of the  
12 Fontana Corrosion Center there. She earned her doctoral  
13 degree in chemical engineering at the Silesian Technical  
14 Institute and University in Poland. Dr. Smialowska's  
15 principal research interests have been investigation of the  
16 kinetics of the mechanism of electro processes, pitting  
17 corrosion, stress corrosion cracking, corrosion inhibitors,  
18 hydrogen embrittlement, different types of aqueous corrosion  
19 at high temperatures and, of course, passivity.

20           Professor Hans-Henning Strehblow is professor of  
21 physical chemistry at the Institute for Physikalische Chemie  
22 and Elektrochemie at Heinrich-Heine University in  
23 Duesseldorf. He has a doctorate in physical chemistry from  
24 the Free University of Berlin. His research interests

1 include electrochemistry, corrosion, surface analyses, and  
2 the physical chemistry of surfaces.

3           Now, we have one other distinguished panel member  
4 who unfortunately will not be able to be with us today. That  
5 was Professor Hans Bohni of the Swiss Federal Institute of  
6 Technology in Zurich, who was to have been a panelist, and he  
7 e-mailed us Monday afternoon that he has come down with an  
8 infectious disease with a fever and, therefore, would not be  
9 able to participate. However, he had gotten started on  
10 preparing some notes for the meeting, and he was kind enough  
11 to forward them to us. You should find them, it is one sheet  
12 of paper printed on both sides, in the package of handouts  
13 that Linda Coultry and Linda Hiatt set out for you this  
14 morning.

15           I have a couple more introductions to make for the  
16 benefit of the panel. And before I make those introductions,  
17 I first want to apologize to any of the other distinguished  
18 visitors and friends that may be present in the audience that  
19 I more than likely will be overlooking, but I wanted to  
20 highlight some of our participants that are involved in the  
21 project in one manner or the other.

22           First of all, Dr. Gerry Gordon, formerly of General  
23 Electric, he's the lead materials scientist for the  
24 Department of Energy. And he and the group that he's with

1 have kindly volunteered to answer any questions about the  
2 materials DOE program, should they arise during the course of  
3 the workshop. Indeed, the work of that group is going to be  
4 discussed in some detail during this meeting.

5           We also have Professor Joe Payer. He's professor  
6 of Materials Science and Engineering at Case Western Reserve  
7 University in Cleveland, and he directs the Yaeger Center of  
8 Electrochemical Sciences at Case Western Reserve. He's  
9 chairing a ten month peer review of the DOE Materials  
10 Program, and we have some of the peer review panel members  
11 here as well. The peer review just got started a month ago,  
12 and some of you members of the panel may be serving as  
13 subject matter experts for the peer review as well.

14           I want to assure you that this workshop and the  
15 peer review are independent efforts. The workshop has a very  
16 narrow focus, and is a one shot affair. The peer review is  
17 much, much broader and extends for nearly a year. Even  
18 though the two efforts are independent, they do overlap, and  
19 we hope what comes out of the workshop will be helpful to the  
20 peer review, as well as the Board.

21           I think that we have Professor Gerry Frankel in the  
22 audience as well. Jerry? He's in the Materials Science and  
23 Engineering Department of Ohio State, and is the current  
24 director of the Fontana Corrosion Center. He's a member of

1 Dr. Payer's panel.

2           Do we have Professor Kelly as well in the audience  
3 today? Maybe later.

4           Dr. David Shoesmith is in the audience? David  
5 Shoesmith originally from England, he spends most of his time  
6 in London, but that is London, Ontario, where he's a  
7 professor of chemistry at the University of Western Ontario.  
8 And I know Professor Shoesmith because of his extensive  
9 participation in the DOE effort and as a contributor to a  
10 number of previous discussions concerning materials in the  
11 repository.

12           Let's see, we have also Dr. Roger Staehle in the  
13 audience. Roger? He's formerly an Ohio State professor,  
14 University of Minnesota dean, and he is also involved in  
15 Rickover's nuclear navy, and now he's associated with Roger  
16 Staehle Consulting, and he's also in the audience and he has  
17 been involved also for a long time in these areas.

18           We have, again, many other friends and  
19 distinguished people. Dr. Scully maybe is in the audience?  
20 Well, anyway, and I apologize for those whose names I may  
21 have failed to notice at this moment.

22           Okay, a couple of housekeeping issues. You might  
23 notice that the meeting is being transcribed, and this is  
24 standard practice for all Board public meetings. The

1 transcript will be kept in our permanent archives and will be  
2 posted on our website.

3           Scott Ford, who is recording the meeting and his  
4 staff back in Denver have provided transcribing services to  
5 the Board for quite a while, and they're good and they're  
6 familiar with many of our technical terms, but there is  
7 something you can do to help them. Whenever you speak,  
8 members of the panel, please identify yourself, unless  
9 someone has just introduced you, just saying your last name  
10 is enough, but that will help keep the record straight as to  
11 who is saying what.

12           Now, just a couple of very brief comments  
13 introducing the next presentation and the overall orientation  
14 of the workshop. Now, the basis for extrapolating corrosion  
15 resistance thousands of years into the future has been a  
16 concern of our Nuclear Waste Technical Review Board for at  
17 least four years. And this is a concern that the Board has  
18 mentioned frequently in its writings.

19           We have encouraged the Department of Energy to  
20 begin some basic research on the issue, and the DOE has  
21 responded by beginning some basic research, but much of it  
22 only recently. You will need to consider that in detail, and  
23 we're going to be addressing some of that in some of our next  
24 presentations.

1           Why are we having the workshop and why are we  
2 having it now? Dan Bullen mentioned the Nuclear Waste Policy  
3 Act of 1982. This Act, and its subsequent amendments, set in  
4 place, among other things, a careful and detailed process  
5 involving the Secretary of Energy, the President of the US,  
6 the State of Nevada, the Congress, and other parties, for  
7 making the social decision on whether to proceed with Yucca  
8 Mountain.

9           The Department of Energy plans that the first step  
10 of the process, a decision by the Secretary of Energy whether  
11 to recommend the site to the US President, shall take place  
12 late this year. Clearly, the decision will have a technical  
13 component. The Board's views will be important for the  
14 decision, and we want to have as complete a basis for our  
15 views as possible.

16           Hence, this workshop. We are seeking a broad range  
17 of diverse opinions on the matter of extrapolating corrosion  
18 resistance far into the future. We are not seeking  
19 consensus, and we are not seeking agreement. We are seeking  
20 opinions.

21           What transpires during the workshop will form an  
22 important part of the basis for the Board's view on the  
23 extrapolation issue. And since we have to express that view  
24 before the Secretary's decision, you can understand the

1 timing of the workshop.

2           Now, finally, the subject of this workshop is the  
3 long-term extrapolation of passive behavior. I know there  
4 are many tempting side topics that this group is eminently  
5 qualified to explore, for example, stress corrosion cracking,  
6 or the design of the waste package itself. But if we get off  
7 onto those topics, we risk not fully addressing the reason  
8 we're gathering here in the first place. Long-term  
9 extrapolation is our focused interest. Also, we didn't  
10 furnish you with the background information to address those  
11 other issues.

12           So, if we travel down the side road, I'm sure Dr.  
13 Bullen will feel obliged to pull us back before we go too  
14 far.

15           Thank you. And now I would like to turn the floor  
16 over to Dr. Carl Di Bella, who will describe briefly the  
17 waste package designs and the range of chemical, physical and  
18 thermal environments that the waste packages may experience  
19 in the repository. Then I will return to summarize Alloy 22  
20 corrosion research, and repeat the questions for the  
21 workshop.

22           Before I turn the meeting over to Dr. Di Bella, do  
23 we have any specific questions on the part of the panel?

24           (No response.)

1 SAGÜÉS: If we don't, then Dr. Di Bella, please.

2 DI BELLA: Thank you very much.

3 Well, Mr. Referee, we're running just a bit behind,  
4 but I'm going to help.

5 BULLEN: I am keeping score.

6 DI BELLA: I sent to each of you about a month ago some  
7 information about the waste package design and about the  
8 environment that a waste package at Yucca Mountain would  
9 experience. I'm going to repeat that very briefly, more for  
10 the purpose of you asking questions, if you want to.

11 I don't have copies of my handouts because I've  
12 already sent them to you, and because I got them from the DOE  
13 website anyway.

14 So, first, let me remind you, particularly for  
15 visitors from overseas, where Yucca Mountain is. All right,  
16 Yucca Mountain is located in the State of Nevada about 150  
17 kilometers northwest of Las Vegas. It's at the very western  
18 edge of the Nevada Test Site, which is blown up here--blow up  
19 I guess is a good word for it. Here is the footprint of the  
20 repository located just west of the Test Site on Bureau of  
21 Land Management Land, on Nellis Air Force Range land. That's  
22 where it's located.

23 This is a semi-arid location. There are about 17  
24 centimeters of precipitation a year. Most of that evaporates

1 off or runs off, but some does filter into the mountain and  
2 eventually reaches the water table, which is about 600 meters  
3 below the surface.

4           The repository would be located above the water  
5 table about 300 meters. So it's in the unsaturated zone, the  
6 vadose zone, as it's known. And the pressure at that level  
7 is essentially the pressure of outside air, or the  
8 atmosphere, and the elevation of the repository is about 1000  
9 meters. So at that elevation, pure water boils at 96 degrees  
10 rather than 100 degrees.

11           The repository would look like this. This is an  
12 isometric view of the repository. I'll give you a little  
13 closer view in just a moment. The emplacement drifts are the  
14 drifts going east/west where waste packages would be placed.

15           This is another view that emphasizes the  
16 ventilation aspects of the repository. I'm doing that to  
17 show you that the repository would not be closed immediately  
18 after waste packages are emplaced, but that some period of  
19 ventilation would take place, and this period of ventilation  
20 could be as short as 25 years, could be as long as 300, or  
21 perhaps even longer.

22           The waste packages look like this. There's a  
23 person there shown for scale. They do vary somewhat in  
24 diameter and length, but they're roughly between one and a

1 half meters to two meters maximum in diameter, and they're up  
2 to on the order of five meters long, about the size of a  
3 Lincoln limousine, if you happened to see them when you came  
4 into the airport waiting outside for VIPs.

5           The outer surface of the waste package is C-22, a  
6 two centimeter layer of Alloy 22. The inner layer of the  
7 waste package is 316-N stainless steel, five centimeters  
8 thick, and it gives the structural strength, or a large  
9 portion of the structural strength, to the waste package.  
10 Then there is a basket to hold the assemblies. And the  
11 entire waste package, with the exception of the lid, is  
12 annealed before waste is put into it. Then waste would be  
13 put into it, and the lids welded on, and then the lids would  
14 be individually treated to put into a compressive state.  
15 There's a double lid. One lid gets laser peened in the  
16 current concept, and the other lid weld gets induction  
17 annealed, locally induction annealed to protect the waste.

18           That's the design of the waste package. Let me  
19 show you one conceptual diagram of how the waste would be put  
20 into the repository. The diameter of the emplacement drifts  
21 is roughly five and a half meters. The diameter of waste  
22 packages remember is on the order of two meters. Selection  
23 of waste packages are shown here in an emplacement drift, and  
24 you might notice towards the back of the drift, this device,

1 which is called a drip shield, which would be made out of  
2 titanium, and the idea is to place the drip shield after the  
3 ventilation period, just before closure of the repository.  
4 And it would be a continuous drip shield of segments that are  
5 hooked together, overlapped like shingles, so that they would  
6 prevent water from going onto the waste package. That's the  
7 concept anyway.

8           You might think, of course, that besides C-22 outer  
9 layer of the waste package depending on passivity, so does  
10 titanium drip shields, so does the stainless steel inner  
11 layer, so does, hence, and we don't have a picture of an  
12 assembly here, but so does the zircaloy tubing that consists  
13 the assembly rods. However, we're going to talk about Alloy  
14 22, of course, for this workshop. What comes out with regard  
15 to that may well have application to passivity for these  
16 other materials, too.

17           There is water in Yucca Mountain. Even though it's  
18 above the water table, water percolates down through Yucca  
19 Mountain and there is water in the pores of the rock at Yucca  
20 Mountain. And I have here a very complicated table, a very  
21 data-laden table that has the compositions of two of the  
22 native waters in the Yucca Mountain area.

23           This column here is the water from the water table,  
24 actually several kilometers away from Yucca Mountain, but

1 it's close. This water here is water that has been squeezed,  
2 or centrifuged I think, out of rock pores at the repository  
3 level. They're really quite different, and you can see the  
4 difference in when you evaporate the respective waters. This  
5 is an evaporation of this water. This column is an  
6 evaporation of this water right here.

7           You will notice in evaporating the water below the  
8 water table, that you basically get rid of all of the calcium  
9 and the magnesium. What happens is that they combine with  
10 the carbonate, and that it precipitates them out.

11           However, in the case of water at the rock level, in  
12 the pores, there's much higher concentrations of calcium and  
13 magnesium, and when you evaporate this, you basically get rid  
14 of all of your carbonate, but you still have calcium and  
15 magnesium left.

16           What's the significance of that? The significance  
17 is that the calcium and the magnesium, together with the  
18 chlorine anion, have very high boiling points as saturated  
19 solutions, or near saturated solutions in water. Whereas,  
20 the salt here that has a combination of cation and anion that  
21 would have the highest boiling point of the saturated mixture  
22 here, is sodium nitrate.

23           In this case, the boiling point approaches 150 to  
24 160 degrees. In this point, the boiling point approaches 120

1 degrees.

2            Now, why am I bringing that up and what does it  
3 have to do with corrosion? Well, the salts that are  
4 deposited on the waste package, whether they are from  
5 ventilation air that comes in, whether they are from rock  
6 dust that comes onto the waste package over this 25, 50, 100  
7 year period, may have some of these salts here in them, some  
8 calcium, magnesium chloride salts in them, or some sodium  
9 nitrate salts in them, which would determine the highest  
10 temperature at which is going to be aqueous condition on the  
11 waste package.

12            If this is typical of the kind of salts that are on  
13 the waste package, then pretty much 120 degrees you can  
14 safely say is the highest temperature that there's going to  
15 be liquid water on the waste package. If this does, then  
16 maybe 160 degrees is the highest temperature, and that has  
17 something to say about the corrosion.

18            For the purposes of the workshop, I think we're  
19 going to have to play it safe and say it's possible that  
20 maybe there will be liquid water on some of the waste  
21 packages, or some part of some of the waste packages as high  
22 as 160 degrees.

23            Now, there are many other trace components. These  
24 are just what I call a major species in the water, and they

1 can be important, particularly if they find a way to  
2 concentrate, and that's simply out of the scope of the  
3 workshop, but it's an important issue.

4           Temperatures can be generated at Yucca Mountain.  
5 There are basically two schools of thought for a repository  
6 at Yucca Mountain. One is called hot and one is called cold.  
7 And I've tried to represent them both here with a plot of  
8 waste package surface temperature versus time for the hot  
9 case, which is red, for the cold case, which is green. And  
10 there are many, many of these different kinds of cases. This  
11 is just meant to be a representative or a sample case. The  
12 actual temperature of a waste package is going to depend on  
13 where it's located in the repository, and what's inside that  
14 particular waste package.

15           But let's take this. And so in the hot case,  
16 ventilation goes on for 50 years. Then the repository is  
17 closed. Ventilation is turned off. The decay heat from the  
18 package boosts the temperature up to 160, and there's a slow  
19 decay as the heat dissipates from then on.

20           In the cold case, ventilation is not turned off.  
21 The repository is not closed at 50 years, but instead,  
22 natural ventilation is allowed to occur, and this removes a  
23 portion of the heat from the repository, keeping the  
24 temperature below 80 degrees.

1           Again, this red case here is the DOE base case  
2 right now, although they have studied both cases right here.  
3 But I think for the purposes of the workshop, that it would  
4 be wise to consider the DOE base case as being the base case  
5 for the workshop, that is, one where the temperature will  
6 stay above 95, 96 degrees for maybe on the order of 1000  
7 years. It's going to be 500 to 2000, depending on the  
8 individual waste package.

9           Now, I think that's really all I wanted to say.  
10 Really, I put this up more to give you an opportunity to ask  
11 questions, if you want, about the environment that the waste  
12 package is going to experience. Are there any?

13         NEWMAN: I just have a question, which shows my total  
14 ignorance of radiation. Does the stainless steel stop all  
15 that?

16         DI BELLA: Yes. Does the stainless steel?

17         NEWMAN: Does the stainless steel stop all the  
18 radiation?

19         DI BELLA: No, there is a fairly significant radiation  
20 field outside of the C-22, at least from a personal point of  
21 view. From a radiation damage point of view, I think the  
22 consensus is pretty strongly that radiation damage from the  
23 waste, either of the stainless steel or of the C-22, is not a  
24 significant issue.

1           However, radiolysis, which is ionizing of chemicals  
2 in either the water on the waste package or in the humid air,  
3 and then some sort of concentration of, say, the nitric acid  
4 or hydrogen peroxide that you get, that's a potential issue  
5 if you can think of a concentration mechanism.

6           Dr. Kruger?

7           KRUGER: Are there any scenarios where the waste package  
8 sees only hot air and steam, and no aqueous environment?

9           DI BELLA: The proponents of the hot repository hope, of  
10 course, in this period of time that all of the water is  
11 driven away, that it will condense someplace far away from  
12 the waste package, and drain in between the tunnels, and so  
13 that it's not an issue.

14          KRUGER; The issue is that the environment at 160 at  
15 least, hot metal, in gaseous environment, which I think is an  
16 issue as well.

17          DI BELLA: There has been a fair amount of study of  
18 that. And, indeed, dry oxidation, or dry air oxidation is  
19 what term is used inside the project, does occur, but the  
20 rate is infinitesimal, I am told, so dwarfed by any aqueous  
21 corrosion rate.

22          KRUGER: Okay.

23          DI BELLA: Dr. Davenport?

24          DAVENPORT: I just wondered how much variability there

1 is in the solution compositions that you quote? Is there a  
2 sense that in different parts of the tunnels, there might be  
3 some areas with particular constituents that go significantly  
4 above the amounts that you've indicated?

5 DI BELLA: In my mind, just speaking for myself, neither  
6 the variability issue nor the uncertainty issue have been  
7 sufficiently addressed yet.

8 Looking at it from an overall point of view, the  
9 mountain is a relatively homogeneous kind of rock called  
10 tuff. But looking at it from an individual waste package  
11 point of view, and there's going to be more than 10,000 waste  
12 packages, each waste package is going to see different  
13 characteristics of the water around it. And what that spread  
14 is, I don't think there's enough data yet, particularly of  
15 water at the repository level, to answer the question.

16 Dr. Strehblow?

17 STREHBLOW: I wonder why you stopped your concentration  
18 of the brine action? I would guess it's some 10 to the minus  
19 2 molar solution. You're talking also about dry situations,  
20 and it could be that the electrolyte is really concentrated,  
21 more concentrated, like a Q brine, or something like that,  
22 which is extremely high in concentration. It might be more  
23 corrosive. Is that a realistic situation? We can talk about  
24 that later. But you might give it some thought.

1           DI BELLA: I think it's an absolutely realistic  
2 situation. I only put that chart up because I had something  
3 to cite behind it.

4           And now may I give the floor back to Dr. Sagüés?

5           SAGÜÉS: Great. Well, we're getting closer now to the  
6 substance of the workshop, and what Dr. Di Bella showed you  
7 is another introduction of our mental parameters. By the  
8 way, we do have here in the audience Yucca Mountain Project  
9 scientists who might be able to clarify some of these issues.  
10 So I would invite the panel participants that if they have  
11 any additional questions on this, feel free to indeed ask if  
12 we can have some additional clarification. And that applies  
13 also to what I'm going to mention right now. I'm just going  
14 to highlight a couple of issues, and I don't pretend by any  
15 means to make this into an exhaustive presentation.

16           And what I wanted to do is to quickly address the  
17 question of what kind of corrosion performance is needed if a  
18 repository of this type would be somewhat successful in doing  
19 what it's supposed to do. And the first thing I want to  
20 mention is that the performance of the repository has become  
21 increasingly dependent on the integrity of the waste package.

22           Maybe a decade ago when the initial concepts of the  
23 repository were considered, at that time, the mountain was an  
24 extremely, and still is an extremely important part of the

1 overall equation that would determine separation between the  
2 waste and the public, but the mountain, during the last  
3 decade or so, more evidence began to appear that the mountain  
4 had a lot more water than was initially anticipated. The  
5 flow of water, the flux of water was found to be quite  
6 significant. There was uncertainty as to how slowed down  
7 that water motion would be, and so on.

8           So, as a result, the present performance  
9 projections for the repository are relying strongly on that  
10 package being there and staying in very good shape for a very  
11 long time.

12           Indeed, at this moment, to have a very credible, a  
13 very robust repository concept, really, there shouldn't be  
14 any widespread penetration of the Alloy 22 shell during the  
15 first 10,000 years of operation of the repository. And we  
16 cannot give any specific time period, and the like, but  
17 indeed, a very robust package, a package that will stay for a  
18 very long time is indeed needed.

19           Now, things like localized corrosion would be very  
20 detrimental to the anticipated performance of the repository.  
21 If there were strong evidence that localized corrosion, big  
22 pits would develop in the system, if those penetration  
23 phenomena are really very fast, to get something that would  
24 be a workable repository concept, so, really, localized

1 corrosion is something that the concept cannot afford very  
2 much.

3           Now, that leaves, of course, uniform corrosion.  
4 Now, uniform corrosion rate would have to be quite small. To  
5 be quite sure that there's no widespread penetration, well,  
6 we have to have corrosion rates that have to be much, much  
7 smaller than two micrometers per year. Two micrometers per  
8 year is, of course, the nominal kind of corrosion rate that  
9 would give you two centimeters penetration in 10,000 years.

10           So, you realize that we are asking here for the  
11 kind of performance that in many industrial operations may be  
12 something you could live with, but in this case, you  
13 couldn't.

14           Now, the challenge that we have here is an  
15 extrapolation challenge, because the package corrosion  
16 performance relies on passivity. And I'm going to show a  
17 graph in a second here to dramatize this. The empirical  
18 evidence that we have on the performance of passive materials  
19 is very, very low. We haven't used a trick for engineering,  
20 as far as I can think, and as far as from conversations with  
21 a number of individuals who should know, we don't have much  
22 more than about 100 years, maybe 150 years perhaps, the first  
23 applications of some aluminum alloys, and one could say that,  
24 well, yes, maybe steel and concrete, there have been nails or

1 some small components of steel embedded in mortars and  
2 concrete for a long period of time, and that would be  
3 passive. But, again, we are talking about a fairly short  
4 time.

5           So I put together this graph some time ago, and  
6 this graph is simply an indication of the following. Here,  
7 we have, say, assumed uniform penetration rates in  
8 micrometers per year. Here would be the millimeters per  
9 year; here would be the micrometers per year. And here would  
10 be the nanometers per year kind of thing. To penetrate  
11 through 20 millimeters, well, you have this amount of time.  
12 So if you have 10 micrometers per year, then you are talking  
13 about a couple thousand years, and so on, and so on.

14           Well, the kind of desired performance is something  
15 that begins to get better and better the farther away we are  
16 from 10,000 years. So this is sort of like a desired kind of  
17 regime, that cloud of behavior over there. But the problem  
18 is that the actual empirical evidence that we have on passive  
19 materials doing their job is about 100 years.

20           So, we have here an extrapolation gap, and we have  
21 here a heck of an extrapolation gap. We are talking about  
22 one, two, maybe three orders of magnitude extrapolation gap.  
23 And, clearly, we cannot just rely on maybe ten years test  
24 and saying this worked for ten years. We have to have

1 something to support that, and that something has to come  
2 from some fundamental understanding of the processes that are  
3 responsible for this behavior. And, of course, that's why  
4 you're here.

5           Let's talk a little bit about what is the available  
6 evidence on uniform corrosion. I'm just going to highlight  
7 some of the results that the Project has produced, and some  
8 of the -- . And, again, as I said before, feel free to ask  
9 some of the Project scientists in the audience, if you would  
10 like, some very specific detail.

11           The evidence that is available on Alloy 22 comes,  
12 quite a bit of the most detailed evidence comes from  
13 gravimetric corrosion tests, coupon tests, in a fairly large  
14 facility that is located at Lawrence Livermore National  
15 Laboratory. Over there, Alloy 22, among other alloys, has  
16 been tested, and in simulated repository environments, the  
17 corrosion rates that are obtained by gravimetric tests are  
18 distinctly below the tenth of a micrometer per year. And I'm  
19 going to show that much of them maybe show a hundredth of a  
20 micrometer per year.

21           There's also electrochemical evidence that provides  
22 similar evidence, and then there is a little bit of evidence  
23 on temperature dependence. So let me show you some of that  
24 evidence so you get a flavor of what is involved.

1           First of all, about gravimetric corrosion rates,  
2 those of you who have been involved in coupon testing know  
3 that when we are talking about those very low rates, we must  
4 be talking about very, very small mass differentials in  
5 coupons that can be quite heavy. And sure enough, when you  
6 have data from the first maybe couple years, or one year, you  
7 may get indications like this.

8           And, here, we have the evaluated penetration rate  
9 for a whole bunch of coupons, in this case, of Alloy 22 in a  
10 number of simulated environments, and this is the cumulative  
11 percentage of it. And, of course, what you see is that a  
12 number of your coupons are going to show a negative mass  
13 loss. They have gained weight during the test, even if you  
14 clean them up, and so on.

15           So, you realize that right there, you are in a  
16 situation in which you have to start making some assumptions.  
17 Maybe we have silica deposition on the surface of the  
18 specimens. Maybe we have to have some controls, and so on,  
19 and so on.

20           Now, this gets a little bit better when you go over  
21 maybe two or three years, and that is indeed what is  
22 happening here, are similar cumulative distribution curves,  
23 in this case, going up to two years, and now a number of  
24 things showing negative rates are becoming a little bit less.

1 Up here you have your corrosion rates. You have some kind  
2 of a median that is less than a tenth of a micrometer per  
3 year, but you have some of -- here and there.

4           And, indeed, this kind of information is being used  
5 now for a number of ways of assessing what may be happening  
6 over long periods of time. Indeed, also what you see is that  
7 as the time of exposure increases, the mean rate of corrosion  
8 of these coupons by gravimetric observation is, indeed,  
9 coming down. And, here, we are hitting more like maybe the  
10 hundredth of a micrometer per year. But, of course, you have  
11 this uncertainty that comes from this test, and of course  
12 means you're going to have also a spread of values.

13           So, so much for the kind of gravimetric information  
14 that is coming up for these periods. There aren't too many  
15 other studies of extremely low corrosion rates by gravimetric  
16 purposes of passive alloys in general. You do have  
17 electrochemical evidence.

18           For example, in Gustavo's group at the Center for  
19 Nuclear Waste Regulatory Analyses, they have produced  
20 information like this. I'm going now to the Yucca Mountain  
21 Project which provides information of this type. You go  
22 ahead and you potentiostat an Alloy 22 specimen, and then of  
23 course you look at the kind of current decay that you get,  
24 and in this particular case, we have, in this example, we

1 have a couple of weeks worth of testing, and you see that the  
2 corrosion rate reaches some kind of apparent stabilization at  
3 the value that is maybe about a tenth of a micrometer per  
4 year kind of information.

5           Now, as many of you know this, you can get this,  
6 you plot a log of current density as a function of log of  
7 time, and in that case, well, maybe it still has a way to go  
8 on this. It may go to much, much lower value if you  
9 extrapolate in that fashion. And I'm sure that many of you  
10 have other opinions and may have conflicting opinions after  
11 having interpreted this kind of evidence. But this is the  
12 kind of evidence, direct immediate evidence that we have  
13 right now, sort of like empirical observations, that have to  
14 be meshed with some basic understanding to be able to go  
15 ahead and extrapolate this orders of magnitude into specific  
16 behavior.

17           And then, yes, you do have electrochemical, in this  
18 case polarization resistance to the impedance as well, and  
19 you see also corrosion rates approaching a hundred, maybe a  
20 tenth and a hundredth of a micrometer per year, and this is  
21 linear polarization. In this case, we're talking about a  
22 half a year kind of period of time. And this also indicates  
23 something which seems to be distinctly below the tenth of a  
24 micrometer per year.

1           So much for rates. This is the kind of  
2 information, the immediate information that is available. A  
3 little bit on temperature dependence of this kind of uniform  
4 corrosion.

5           The first indications of temperature dependence  
6 came from gravimetric tests, and those indications were  
7 really not very informative. These are rates, in this case  
8 in nanometers per year, from coupon tests that were conducted  
9 at a couple of temperatures, 90 degrees and 60 degrees  
10 centigrade, and this is the spread of the information.  
11 There's no really good indication about what might be the  
12 temperature dependence. Of course, this is a very crude  
13 method of trying to obtain that.

14           But on the other hand, we're talking about data  
15 that spreads over a couple of years of time. So you have  
16 something in one direction, and you have some in the other.  
17 But this was quite inconclusive. And in the initial  
18 performance assessment exercises that the project carried, it  
19 was assumed that temperature dependence of the uniform  
20 corrosion rate of Alloy 22 in these kinds of environments was  
21 not very great.

22           Now, yes, you can do short-term experiments, and  
23 this is an example of results from short-term experiments  
24 that were made at the University of Virginia by John Scully

1 and his collaborators. And here, you have some potential  
2 scan tests performed in a relatively short time scale. We're  
3 talking here in the hours or maybe a day at the most kind of  
4 time frame. And, yes, in this case, you can get some  
5 indications of apparent corrosion rates. This is a natural  
6 log, by the way, so it's a little bit--it's not immediately  
7 easy to look at.

8           But nevertheless, yes, there seems to be an  
9 indication of an increase. You can go ahead and do what  
10 we'll do, just put a range of dependence, and you end up with  
11 about 30 kilojoules per mole kind of activation energy. It  
12 doesn't sound too outrageous, but what I want to indicate,  
13 this is very preliminary information. This is just quick  
14 kind of testing. We have some idea of what is happening, as  
15 one can speculate, but that's about the kind of bit of  
16 information that is available for this particular issue at  
17 this moment. More is coming, but we are not quite there to  
18 the point where we have very nice data after several years of  
19 exposure with different temperatures and very low margins,  
20 and so on.

21           So, I'm showing this primarily to give you a flavor  
22 of the kind of information that exists. And, again, I  
23 apologize to the Project if I am short-changing some of the  
24 information that is available. I'm sure they'll be glad to

1 supplement some of it.

2           Now, I'm just going to say a couple of words about  
3 localized corrosion, and the kind of information that is  
4 available at this time. And I should say that at this  
5 moment, the Project approach to performance analysis, which  
6 is sort of like an extremely sophisticated overall durability  
7 projection type of model, and that approach uses a critical  
8 potential criterion. And that is, of course, to measure  
9 ranges of open circuit potentials, to measure ranges of  
10 repassivation potentials. If your open circuit potential is  
11 below the repassivation potential, well, you should be fine.  
12 If it is above, you're in trouble.

13           A lot of this information comes from cyclic  
14 polarization tests, and some additional information is now  
15 emerging, but again, we have to deal with what is available  
16 at this time. And the overall conclusion of what has been  
17 observed is that crevice corrosion will not sustain the  
18 temperatures on the order of 100 degrees centigrade, and at  
19 the kind of expected open circuit potentials, if you are  
20 balancing the chloride ion content of the solutions with a  
21 comparable concentration of beneficial ion, such as nitrate,  
22 for example, things of that order, if you put just sodium  
23 chloride at those temperatures, and it's highly concentrated  
24 sodium chloride, several molars, and so on, yes, you may

1 develop localized corrosion even in Alloy 22.

2           But when you have the kind of balances that Dr. Di  
3 Bella showed earlier, then the localized corrosion doesn't  
4 seem to develop, at least within the time frame and within  
5 the limits of the information available to date.

6           There is concern, and Dr. Staehle has pointed out  
7 this, that there may be other substances, say, trace elements  
8 of lead in the rock, and the like, that may lead to surprises  
9 in not only the localized corrosion, but also perhaps uniform  
10 corrosion of these materials.

11           But what I want to do is I want to close this  
12 review of the highlights of what is know about corrosion of  
13 these materials by emphasizing something in here. A, we have  
14 a very long time frame. We mentioned this. 10,000 years, we  
15 want to get farther ahead than that. The other thing is  
16 something that I'm sure Dr. Shibata has sensitized many of us  
17 of that, and that is that each one of these packages, oh, has  
18 about some 20 to 40 square meters of surface, say 30 square  
19 meters of surface. There's about 10,000 packages, or so,  
20 depending on what kind of a concept we have. So, you can  
21 have 30 times 10,000, have 300,000 square meters of passive  
22 alloy here to deal with. And there's a little bit of an  
23 extrapolation from tests that you perform with 10 square  
24 meter specimens when you're going to 300,000 square meters of

1 surface.

2           The other thing is welding. These things have  
3 welds that have been annealed, and then there's finally a  
4 closure weld at the end of the package. Well, each one of  
5 these packages will have at least some 6 meters, or so, of  
6 closure weld at one end. So you have 6 meters times 10,000  
7 packages, minimal, so you're talking about some 60,000--about  
8 some 60 kilometers of weld to consider in here. We are  
9 talking a long time, and we're talking about a lot of  
10 material to consider. All of it has to stay--you want for it  
11 to be passive, and you certainly don't want widespread  
12 failures of that material.

13           So, having said all that, we went ahead and we  
14 submitted to this distinguished panel a couple of questions.  
15 And you have the text of the questions. I'm just going to  
16 show this to remind everyone of what is the general flavor of  
17 the questions. And the first question was can you propose a  
18 mechanism or mechanisms that would after a long service time  
19 substantially increase the passive corrosion rate of all the  
20 presently expected values.

21           You saw that if we go to -- in the micrometer per  
22 year, we are likely to have some kind of a very important  
23 question as to whether these packages will do the job that  
24 the repository would need to have done.

1           And the idea was, of course, that maybe we do have  
2 these very low corrosion rates, maybe a tenth or a hundredth  
3 of a micrometer per year. This is happening for a while.  
4 But then maybe there is some kind of an aging process that we  
5 don't know about. And, again, we're bringing you here to  
6 speculate as to what processes might occur, and -- may kick  
7 in after 100 years or 1000 years or 5000 years. And if at  
8 that moment we get something that starts boiling quickly  
9 through the container, we want to have an idea, we  
10 collectively, not just the Board, but the community, we would  
11 like to have some idea as to whether that might or might not  
12 be happening. And the best thing that we thought of was to  
13 bring you all here and ask you directly that question.

14           And then, of course, the other is let's suppose  
15 that we lay uniform corrosion to rest, well, could something  
16 be happening at the localized corrosion end? Is this open  
17 circuit potential, critical potential criterion, that works  
18 so well when you're designing a refinery for a chemical  
19 processing plant, will that work also for something that has  
20 such a huge time designed service life, if you want to put it  
21 in those terms, and also such a large opportunity for damage  
22 to develop from a surface area standpoint.

23           And, of course, if you come up with ideas of things  
24 that could happen, you thought about this or this, how could

1 this be tested in a reasonable time frame? As you heard  
2 today, our society is getting very close to making some kind  
3 of a decision. Our representatives will make that decision.  
4 We're not going to make that decision. But they are going  
5 to have to be informed as to what may be happening, what may  
6 not be happening, what may go wrong, and also, of course,  
7 what can go right with the present concept.

8           I would like to finish this by pointing out a  
9 couple of questions which are a little bit broader, but have  
10 to do with this as well, and they have been posed by Dr. Paul  
11 Craig. And I'm just going to flash them here. We may put  
12 them back later. And I guess that someone decided to call  
13 these philosophical questions. That was not my choice, but  
14 we'll leave it with that name, and I think philosophical is a  
15 good idea.

16           And I think that the number one, this is addressed  
17 to the members of the panel, and this is more of a general  
18 flavor kind of idea, and that is what is, you know, when I  
19 think about this, what is the most significant unexpected  
20 result or surprise that you have experienced personally in  
21 the physical, chemical, materials science area. And then  
22 given this experience, why do you or don't you believe that  
23 unexpected results or surprises concerning Alloy 22 corrosion  
24 behavior will or will not occur over very long periods of

1 time. I think that that's a very good point that Dr. Craig  
2 has made, because this is going to be a humbling experience  
3 of going through observations in this area.

4           And, now, number two, which is again a little bit  
5 more general, is what is your level of confidence in this  
6 kind of extrapolation that one would be doing. And then how  
7 far out in time would you feel confident extrapolating the  
8 corrosion behavior of Alloy 22. And, again, how far in time  
9 are the operational works in here? Because that is what  
10 makes this problem quite unique.

11           And I think those two particular issues are of  
12 quite significant importance, and we're going to have to be  
13 looking at them. And there may be one or two other questions  
14 that will be brought out that we can discuss later.

15           So, this is really the overall kind of introduction  
16 that I wanted to give you. And before we go into the  
17 individual presentations, do we have any questions or  
18 comments that you would like to bring up based on what I have  
19 shown up to now?

20           (No response.)

21           SAGÜÉS: Well, I think that you will have plenty to say  
22 on your own presentations, so I'm going to now pass the  
23 meeting to Dr. Bullen.

24           BULLEN: Thank you, Professor Sagüés. I appreciate you

1 getting us right back on schedule. We are at 9:55, and  
2 that's the beginning of the individual responses.

3           Fortunately, I had a volunteer approach and  
4 volunteer before the meeting started to be the first  
5 participant, and that is Dr. Gustavo Cragolino from the  
6 Center for Nuclear Waste Regulatory Analyses. And so I'd  
7 like to ask Gustavo to give us a five to ten minute overview  
8 presentation of the response to the two questions.

9           So, Gustavo, would you please kick us off?

10          CRAGNOLINO: I want to start raising the same slide that  
11 you have seen that Alberto placed here, and these are the  
12 results of our work, only to emphasize that in this type of  
13 extrapolation that was done on the basis of electrochemical  
14 measurements of passive current density over the period in  
15 which steady state conditions are very well attained, we are  
16 using Faraday's laws to extrapolate time of this nature.

17           However, these are the main issues that we have to  
18 confront, that we don't have any way to estimate defect  
19 generation or accumulation of metastable events that may lead  
20 to higher corrosion rates at longer times.

21           And at some point that he touched on at the very  
22 end on how this could be impacted by the effect of  
23 fabrication processes that we need to consider.

24           These concerns about the validity of these long-

1 term extrapolations, either from the experiments that I  
2 mentioned as electrochemical or gravimetric - we believe they  
3 need a critical assessment of mechanistic models that could  
4 provide us a framework to try to understand new methods or  
5 approaches that can be used for the purpose of experimental  
6 verification.

7           And we have used this modified point defect model  
8 as a starting point, but we have to keep in mind  
9 consideration of other type of passivity models that should  
10 be placed in the perspective of providing us a way to find an  
11 experiment that can in some way test, within the limitation  
12 of time, the results.

13           And I will talk on one issue that we have to deal  
14 with very clearly is there is validity for high temperature  
15 experiments as accelerated tests for extrapolations to the  
16 low temperature regime. This is a question that has been  
17 posed for many systems. It's possible that we are  
18 confronting here times that are much longer than the time of  
19 the engineering experience. And there is another factor that  
20 can be used to accelerate this.

21           I'm not going to go into details because I can  
22 cover this later on, but to give you an idea, we started  
23 working with the idea of the modified point defect model to  
24 try to develop a concept about the stability of the passive

1 film, and we came to the conclusion that by using this model,  
2 the only thing that can explain seeing that would lead to  
3 eventual failure of the passive film is the process of film  
4 spalling at irregular locations. And we propose an heuristic  
5 model to account for this process.

6           But the final conclusion by analyzing the process  
7 through this type of model is that the steady state passive  
8 dissolution of this film is stoichiometric in nature, even  
9 though initially, it would be a preferential dissolution of  
10 the most easy to dissolve species like the nickel in this  
11 particular case of the nickel chromium based alloy.

12           The important thing is that as we mentioned here,  
13 in this family of the Hastalloy alloy that may contribute to  
14 passivity of the chromium rich oxide type of film in which we  
15 can have a double layer in the interface with the aqueous  
16 solution that is essentially more of a hydroxide type of  
17 effect.

18           We went through this type of exercise using this  
19 theoristic model to consider the process of film spalling and  
20 the alloy at different thickness, and we can work with this,  
21 in which situation with particularly this type of thickness  
22 of this flat, thin material in the calculation, and the  
23 lifetime of the container will be a function of the critical  
24 vacancy concentration fraction. This fraction is the

1 concentration of vacancy over the concentration of the other  
2 species present in the interface. And film spalling is  
3 assumed to have occurred under this condition.

4           We can come out with prediction in life that lead  
5 us to very long times, except for critical vacancy  
6 concentrations that are relatively long. This puts in  
7 question obviously to our thinking, that for one side, this  
8 is valued as a concept, or there are some essential flaws  
9 that we have to find out.

10           Our approach by using this model, and for that  
11 reason I emphasize the model as a good way to design the  
12 experiment, but as critical responses. If the model will not  
13 agree with the response that we are expecting, we have to  
14 change the model. But this is the only way that we can come  
15 out with an approach to predict this type of long, long time  
16 decay.

17           And we are doing an experiment in which we measure  
18 solution composition, you've seen capillary electrophoresis,  
19 to really evaluate if this concept of stoichiometry in the  
20 long term is maintained, or we have preferential dissolution  
21 of the alloying elements, and this is the type of cell that  
22 were used for electrochemical purposes. I'm not going to go  
23 into details. We can discuss it later.

24           We need to grow to have very high resolution of the

1 passive corrosion density measurement over an extended period  
2 of time, because in my first failure, you see that even  
3 though the current density is steady there is a lot of  
4 fluctuation, indication that they are processes of film  
5 breakdown and repair, and in order to evaluate the  
6 possibility of metal vacancy accumulation, we consider the  
7 use of resistivity measurements in thin foils.

8           To complete my point, we have to consider any other  
9 possible processes leading to small increases of passive  
10 current density. That could be a superposition of cumulative  
11 metastable passive film breakdown and other repassivation  
12 effects. And another approach is consider other types of  
13 models. I mentioned initially if the modification of the  
14 outer deposit layer is able to create a local, more  
15 aggressive environment with time, that will promote this type  
16 of very localized fluctuation in the concentration of the  
17 variables that influence the breakdown and repair of the  
18 films.

19           Obviously, the possible methodology that we have in  
20 mind is this. Enhanced resolution of long-term either  
21 potentiostatic or zero resistance ammeter measurements. But  
22 we have to keep in mind that when we are using an  
23 electrochemical approach, this is a very important  
24 consideration.

1           The basis of the consideration that was mentioned  
2 by Alberto regarding the probability of events that we cannot  
3 capture using the smallest specimen - tied to this, we have  
4 to consider the important role of the cathodic area when we  
5 are talking about a very extended cathodic area, compared to  
6 the situation when we are doing this under potentiostatic  
7 control, in which we have a driving force for the process.

8           I'm going to go very, very briefly, and think that  
9 is a matter of further discussion, about certain semi-  
10 empirical approach that we have been using for localized  
11 corrosion. And I think that we have to distinguish very well  
12 in this type of approach. Here, we are representing this dry  
13 period that was mentioned before in the discussion, the  
14 situation of the formation of the liquid film that was the  
15 condensed layer, that is many times promoted by the  
16 deliquescent point of salts that have high hydrotropic  
17 properties, and the possible evolution of the corrosion  
18 potential or the repassivation potential.

19           But this critical potential is not the potential  
20 that you have for the initiation of pitting corrosion in the  
21 short-term experiment, but it's a potential that you define  
22 as the minimum potential at which a surface can remain active  
23 after having grown. And, here, there are some factors I've  
24 included in this, and what we have to consider is the

1 stability of this type of parameters in the long-term,  
2 because, as I mentioned here, these parameters are  
3 environmentally dependent and the environment's change with  
4 time.

5           And to emphasize the point, here are probably the  
6 main factors that have an involvement in the definition of  
7 this corrosion potential and repassivation potential. The  
8 temperature of the repository will decrease with time. The  
9 corrosion potential will increase, but at the same time, will  
10 increase the critical potential, decreasing the possibility  
11 of localized corrosion.

12           But you have other types of events that could have  
13 an effect, like the well-known effect of chloride, or the  
14 effect of the aging of the passive film that will lead to an  
15 increase in the corrosion potential and promote conditions  
16 for the initiation of corrosion.

17           And, finally, two aspects that cannot be neglected,  
18 and depending a lot about the fabrication processes, and in  
19 particular, the post-welding type of treatment either in the  
20 stage of fabrication or as was mentioned by Alberto, in the  
21 closure welds, and this has a detrimental effect in  
22 particular on the critical potential. For that reason, I  
23 don't have a clear answer to the question in the way that it  
24 was formulated, but I think that I tried to provide the idea

1 that we have to confront this issue by looking not only in  
2 terms of the projection in time and in the space, but the  
3 projection in space has to take into consideration the  
4 important variability in the condition of the material, as  
5 they seem to consider in the long-term.

6           Finally, I want to acknowledge the people that have  
7 helped me in this endeavor.

8           BULLEN: Thank you, Gustavo. I appreciate your brevity,  
9 and you were done in twelve minutes. That's great. I'll try  
10 to keep everybody to at least ten.

11           Now, at the risk of asking a professor who's  
12 usually programmed for 50 minutes to talk, because I notice  
13 most of you are faculty members, do I have a volunteer?

14           Digby Macdonald, I saw him rustling his view graphs  
15 there. So, Digby, if you could do it in ten minutes, that  
16 would be great, or less.

17           MACDONALD: Okay, I want to address this question in a  
18 somewhat philosophical manner by pointing out that  
19 repositories are unique. In fact, we haven't actually built  
20 one yet. And being unique systems, we have great difficulty  
21 in developing empirical models that are based on a  
22 statistically significant database. It doesn't exist.

23           Furthermore, the horizon is far too distant, 10,000  
24 years, compared with our experience in any given system where

1 we have a well established database, far too distant for any  
2 effective extrapolation. Accordingly, empirical models are  
3 highly unlikely to succeed in this business. And what we  
4 have got to do is to appeal to determinism as a prediction  
5 philosophy.

6           And what is determinism? Determinism in this  
7 context simply says that the future may be predicted from the  
8 past, provided that, and this is the caveat, the caveats in  
9 this business are very, very important, the phenomena are  
10 described in terms of viable physical mechanisms and models;  
11 that the solutions to the constitutive equations, those are  
12 the equations in a model that tell you how the model works,  
13 are constrained by natural laws that are invariant in space  
14 and time; and finally, that the path to the future state is  
15 continuous and can be specified. And that is part of the--  
16 one of the major problems in this whole business. Can we  
17 accurately predict the path over which one of these canisters  
18 is going to travel for the next 10,000 years.

19           I'm going to show you a couple of models just very  
20 briefly that meet these criteria, and the first one is some  
21 work that I've been doing for Gerry Gordon and his colleagues  
22 on general corrosion, and it's just essentially a mixed  
23 potential model. What it proposes is that any corrosion  
24 process can be broken down, fundamentally down into anodic

1 and cathodic processes, or oxidation and reduction processes,  
2 if you like, and that the constraining condition is that  
3 charge must be conserved at the surface.

4           So, the sum of all the partial anodic current  
5 densities must be equal to the sum of all the cathodic  
6 current densities. And that condition defines a very  
7 important parameter called the corrosion potential that  
8 Gustavo just talked about.

9           Without going through all the mathematics, and  
10 there are a lot of mathematics, I'll just point out that the  
11 model is based upon point defect model, which I and my  
12 colleagues have developed over a couple of decades, and I  
13 should point out that one important reaction, and this should  
14 actually be over here, is the dissolution of the barrier  
15 layer, in this case, chromic oxide, and that establishes a  
16 lower limit for the corrosion rate. The rate of dissolution  
17 of the barrier layer represents a lower limit, not a higher  
18 limit and not necessarily the corrosion rate, because there  
19 are parallel reactions that can occur, the transmission of  
20 cations by cation vacancies and the transmission of cation  
21 interstitials through the barrier layer.

22           Nevertheless, if one goes through the mathematics  
23 and carries out the prediction, you can predict the corrosion  
24 potential, which I should add is in reasonable accord with

1 the experiment, and you get this classical "S" shaped,  
2 sigmoid shaped variation with log of the partial pressure of  
3 oxygen. And this is on a standard hydrogen scale, which is  
4 not a scale that is commonly used, but open atmospheric  
5 conditions puts the potential around here.

6           Now, why is the potential so important? Well, the  
7 potential is important because it determines the likelihood  
8 of localized corrosion occurring. I think as Gustavo has  
9 shown, and Alberto showed as well, there's a good argument  
10 that can be made that general corrosion probably will not  
11 represent the major threat, unless there's some process that  
12 is currently unknown in corrosion science that causes a  
13 massive increase in the corrosion rate.

14           But that's not true with regards to localized  
15 corrosion. The problem with localized corrosion is that we  
16 have very, very long periods of time available for the  
17 nucleation of localized corrosion events on the surface, and  
18 yet our experience of course is very, very short.

19           Just to show you some predicted corrosion current  
20 density plots, up to 120 degrees, you'll see that the  
21 corrosion current density is not a strong function of the  
22 corrosion potential.

23           But let me move on to localized corrosion damage.  
24 Now, the objective in localized corrosion damage is to

1 calculate the so-called damage function as a function of  
2 time. The damage function represents a histogram of the  
3 number of pits that exist on a surface per unit area as  
4 plotted against the pit depth. The pits that cause the  
5 greatest damage and could ultimately cause failure are, of  
6 course, at this upper extreme of that distribution. The  
7 total damage on the surface is the integral of the  
8 distribution.

9           Now, the reason why the damage function is  
10 important is that you can see--and these are just schematic  
11 ones, but I'll show you actual calculated ones shortly, and  
12 by the way, this work was funded by--this type of work was  
13 funded by the Department of Energy's Nuclear Energy Research  
14 Initiative. The reason why this is important is it leads to  
15 a natural definition of failure. If you have a critical  
16 dimension, in this case 2 centimeters of C-22, then what you  
17 seek to calculate is the time at which the upper extreme of  
18 this distribution extends past that critical dimension, and  
19 that gives you the time of failure. And what we want to  
20 assure is that the time of failure is greater than 10,000  
21 years.

22           Now, does C-22 pit? Yes, you can make C-22 pit.  
23 Here's a pit. C-22, this happens to in saturated sodium  
24 chloride solution at 80 degrees Centigrade and a pH of 3, and

1 I should point out a very high potential, about 900  
2 millivolts on the saturated cal/mol electrode scale.

3           Here's another one. This one shows the remnants of  
4 the barrier layer on the surface, and you might also notice  
5 here that there's some very small pits associated with  
6 crystallographic features on the surface. We can actually  
7 measure the property. For example, we can measure the  
8 apparent breakdown potential as a function of voltage sweep  
9 rate, and the theory predicts that this should be a linear  
10 relationship, which it is. And from this, we can extrapolate  
11 to obtain a fairly accurate value for the breakdown voltage.  
12 And that's required in order to actually do the modelling  
13 work.

14           Now, the model assumes that passivity breakdown  
15 occurs via the accumulation of vacancies at the metal film  
16 interface, followed by just dissolution of the film. And  
17 I'll show you now a series of calculated damage functions.  
18 And I'll draw your attention to this parameter gamma. Gamma  
19 is the delayed repassivation rate constant.

20           What happens, you see, is that pits are like  
21 people. They're born, they live, and they die. And this  
22 parameter gamma actually describes how these pits will die  
23 after they're formed. So if gamma is high, the population  
24 dies very rapidly. If gamma is low, the population doesn't

1 die very rapidly. Gamma being zero, this calculation says  
2 none of the pits die. They live forever.

3           The reason why you get a distribution is that pits  
4 are nucleating at different times on the surface. Now, if I  
5 increase gamma, and I'll do that drastically, let me go to  
6 this plot here, we now take gamma as being equal to ten to  
7 the minus 3, year to the minus 1. It's the first order rate  
8 constant. You can see that it has a very remarkable effect  
9 upon the shape of the damage function. But most importantly,  
10 it has a tremendous effect upon the population of pits at the  
11 upper extreme.

12           In this case, the pits do not extend to the  
13 critical dimension of 2 centimeters. And most of the pits in  
14 this distribution are dead. They're ones that have already  
15 died. And it's only pits here at the top of the distribution  
16 that are still living.

17           Now, I bring up this whole issue of gamma because  
18 it provides an avenue, I believe, for being able to control  
19 the rate at which localized corrosion accumulates on the  
20 surface. If you can devise a means of controlling the value  
21 of gamma, you hold within your grasp a tool for determining  
22 the ultimate amount of damage that will accumulate on the  
23 surface.

24           With that, I'll finish.

1           BULLEN: Thank you, Digby. Again, twelve minutes. You  
2 did a great job. I'll try and be more strict with the rest  
3 of you, I guess, otherwise we'll be here all day.

4           Let me also comment that if you have extra  
5 viewgraphs and you want to talk about them during the  
6 discussion period, feel free to bring those up. We'd like  
7 you to keep your comments to five to ten minutes right now,  
8 and I'm looking for my next volunteer. Any hands that are  
9 going to shoot up before we have--we'll do one more  
10 presentation. Professor Strehblow? And we will take a break  
11 after Professor Strehblow's presentation.

12          STREHBLOW: Everybody has to come up with ideas, and so  
13 I thought I'd come earlier so I can relax and listen to the  
14 remarks of others.

15                 We have heard about the composition of these films,  
16 and I think the major point is that these films are highly  
17 chromium containing, and it depends on the pH whether there's  
18 any nickel in there or not. It's a bi-layer film. The  
19 nickel is outside the chromium, the oxide is inside. But in  
20 acidic electrolytes, when nickel has a chance to dissolve, we  
21 have a lot of chromium inside. So this is a good idea for  
22 the choice of the material, because chromium and its oxides  
23 are very resistant to any aggressive anions, so it does not  
24 dissolve. It does not pit. It has a slow dissolution rate.

1           And the deeper reason is that the complexing or the  
2 fierce coordination of such an ion is relatively stable, and  
3 it needs a high activation energy to make any changes, let's  
4 say, to chromium ion, to transfer the chromium ion from the  
5 oxide phase to the electrolyte phase. So this is a very  
6 simple model of a passivated metal to metal, oxide to the  
7 electrolyte.

8           We discussed about the corrosion rate in the  
9 passive state, and this is the transfer of metal ions from  
10 the oxide to the electrolyte.

11           The potential at that interface is also determining  
12 the transfer rate, because this transfer reaction sees the  
13 potential drop at the oxide/electrolyte interface, which is  
14 in the stationary situation, determined by disequilibrium of  
15 O<sub>2</sub> minus formation.

16           And there is a very important point that we can  
17 expect that some aggressive or complexing ions will help the  
18 cation to be transferred into the electrolytes. So this is  
19 the case with the nickel. This is the case with iron, which  
20 is not a point of discussion for this material. But for  
21 nickel, it is, and that is the deeper reason that we  
22 accumulate automatically the corrosion resistant chromium  
23 oxide which is sitting at the surface, and once it has a  
24 chance to form a continuous film, it will stop corrosion.

1           But there is perhaps some other point which we have  
2 to mention, and that is the difficulties which may arise.  
3 One thing is the complexing ions that I said when there's a  
4 chromium oxide, we have a good situation. Mostly it's  
5 anorganic. As we know, the composition of the water in this  
6 repository are -- and I have seen fluoride and chloride,  
7 which is very important.

8           Another problem could be the temperature, and the  
9 accumulation of impurities which could also lead to a low  
10 local deficiency of chromium. Once we have not enough  
11 chromium, then at some part of the surface, we might not be  
12 able to reform this chromium oxide film once it has been  
13 destroyed by some event, it could be also mechanically, and  
14 in this case, we have perhaps a difficulty to reform this  
15 protecting chromium oxide film. And as Alberto Sagüés has  
16 mentioned, we have large surfaces, and these large surfaces  
17 could have also defects in manufacturing, in welding and  
18 preparing the metal, and so forth.

19           Another point which I would like to mention, which  
20 is very important in the test of corrosion rate, and could be  
21 important in the dissolution in the passive state, could be  
22 radiation damage. This has been mentioned earlier, and I'm  
23 just wondering whether this is a major issue or not. We have  
24 perhaps a difficulty to get alpha radiation through the thick

1 shell, and we might have difficulty even with the beta  
2 radiation, but we will not have difficulties with the gamma  
3 radiation. And this could also perhaps cause voids and  
4 defects. Implantations would be with heavy metals, but this  
5 would be at the opposite side of our material.

6           And then last but not least, there is radiolysis,  
7 which is causing oxidizing species like the hydrogen  
8 peroxide, which could raise the potential if this is a major  
9 problem. But that depends on what is in the containers and  
10 what the situation is there.

11           We have heard about the composition of the water in  
12 the water table -- and the brines which could be formed.  
13 Then there was a relatively modest concentration of these  
14 special aggressive anions, like a  $10^{-2}$  molar for  
15 chloride, or four times  $10^{-2}$  for the fluoride,  
16 which I estimated from the amount which is there. And these  
17 concentrations might not be critical for our Alloy 22, or  
18 similar alloys, but we have also the situation, as Carl Di  
19 Bella said, there could be an environment where the  
20 concentration could be higher. If we, for instance, have a  
21 higher temperature and we concentrate more and more of these  
22 species, then the concentration could be higher and we could  
23 end up with a Q-brine, which is more or less a concentrated  
24 chloride solution. And that's also something that Cragolino

1 mentioned perhaps. But I'm sure that Digby has mentioned  
2 that, and he did pitting experiments with a high  
3 concentration of chloride.

4           And then we end up with a very critical situation.  
5 The fluoride is also very aggressive. We should call that  
6 in mind. It's very aggressive for the nickel, but not for  
7 the chromium.

8           Now, just to mention some few experiments which are  
9 in this sense and which could be important, is passivation  
10 transients with material which is relatively similar to the  
11 Alloy 22, this is Hastelloy C-4. It has 5 percent less  
12 chromium, but it is close to the Alloy 22, and it has a high  
13 chromium content. If we have a 25 centigrade electrolyte,  
14 and if we have this highly concentrated electrolyte, high in  
15 chloride, the Q-brine, then we don't see any pitting in these  
16 transients. The potential is just positive enough to have a  
17 transpassive situation.

18           Now, if we raise the temperature, then we end up  
19 with pitting experiments. This is the logarithmic growth of  
20 the current density as a function of the time, and with the  
21 preservation change, you should have a slope of minus 1,  
22 which is the case. But then if you have a slope of plus 2,  
23 then you have the typical pitting situation, and then you  
24 have a pit growing, and if this is the case, you can look to

1 the surface and the pit is growing. So the potential is not  
2 very high. This is against a standard --. And then you end  
3 up here with a potential where nothing is occurring in this  
4 short time scale at 200 milliwatts, but this is 60 degrees.  
5 And I have another one which shows the situation for 90  
6 Centigrade, and this is even more dramatic. Then you have  
7 already a beginning of localized corrosion at 200 milliwatts,  
8 which is about the open circuit potential for these  
9 conditions, as has been studied.

10 I also would like to mention that we have breakdown  
11 and repair events. And if we increase the temperature from  
12 50 degrees to 80 degrees, and we make a temperature  
13 transient, then you see a strong increase in these  
14 oscillations, which is breakdown and repair, then breakdown  
15 and repair. And I just estimated if we take this amount of  
16 charge and extrapolate that, we are ending up also with  
17 something like a little bit more than a micrometer. It could  
18 be two or three micrometers if these oscillations remain as  
19 large as they are. But they might die out and get smaller,  
20 so I made a factor of .1 in there, but I'm still ending with  
21 3.5 micrometers per year as a material loss.

22 And if there's a pit and we have a pit within the  
23 pit, it will deepen the defect. And then, finally, we may  
24 end up at up to 10,000 years with a breakdown.

1           Well, just to illustrate a little bit radiation  
2 damage, I brought along one viewgraph which is showing in  
3 principle the possibilities which may occur. This is the  
4 alpha radiation, which is not a big deal, because our  
5 radiation is coming from inside. This is the situation when  
6 the solution is contacting the corroding surface, and there  
7 is the oxide film, and there we have defects which will be  
8 formed. And this is something that goes in the direction of  
9 Digby's defect model.

10           You have also the formation of dopings, and then  
11 you have--I think that is the thing which we should discuss a  
12 little bit, whether this is realistic or not. We might have  
13 the formation of very oxidizing species due to radiolysis.  
14 If the gamma radiation is, for instance, getting through this  
15 material, and it will, then there might be a chance that we  
16 have oxidizing species which are increasing the potential,  
17 and then it could get above the pitting potential if the  
18 concentration and addition of the aggressive anion is very  
19 high.

20           Well, I think this should be enough for the  
21 viewgraphs, because we would like to have some little break,  
22 and then the others might add something else.

23           I just wanted to mention here at the end that the  
24 penetration depth for alpha is definitely too small to get to

1 the other side of the container. The beta might be good  
2 enough if the energy of the radiation is high enough. The  
3 gamma definitely will get through.

4 Thank you.

5 BULLEN: Thank you very much, Professor Strehblow.

6 I'm going to keep us to a strict time table, so  
7 we'll take a 15 minute break, and reconvene at 10:45.

8 Oh, by the way, could I make the comment to all the  
9 presenters if you have additional transparencies or  
10 viewgraphs that we haven't made copies of, would you please  
11 make sure the staff gets them so we can get copies to  
12 everybody?

13 Thank you.

14 (Whereupon, a brief recess was taken.)

15 BULLEN: The second part of the presentations by the  
16 panel. Our next presenter will actually be Roger Newman, to  
17 be followed shortly by Alison Davenport. So, Roger, if  
18 you're ready, we'll get you miked up and ready to go.

19 NEWMAN: This is the second one of these events that  
20 I've been to, and I was very disappointed that the professor  
21 of philosophy wasn't here this time. That was really  
22 enjoyable having her here pointing out when we were talking  
23 bunk, which was most of the time. But, anyway, now the  
24 scientists are using the word philosophy.

1           I'd like to just say a few very brief words really  
2 about, rather conventional words about this topic. And to  
3 some extent, I think I've addressed the questions, although I  
4 must admit to some extent, I've made up my own questions.

5           The first question is what is this passive film  
6 that we're all talking about? And my view, which I think has  
7 been acted by one or two of the other panelists, is that this  
8 is essentially chromium III oxide. You can find a lot of  
9 other things in it if you look hard enough, but to this day,  
10 I don't think we have any understanding of whether these  
11 other things have any causal role in the passivation process.  
12 We have quite a lot of evidence that the chromium oxide is  
13 the thing that actually causes the passivity.

14           The second point, and I certainly would expect a  
15 certain amount of discussion with some of my colleagues on  
16 this point, is whether the molybdenum is good for the passive  
17 film. My view, and I think I'm not entirely out on a limb  
18 here, is no. This molybdenum that we put in this alloy  
19 prompts its resistance to localized corrosion. But I would  
20 certainly argue that that effect takes place when you already  
21 have a small dissolving cavity, in other words, a kind of  
22 protopit. It has absolutely nothing to do with the passive  
23 film. And, in fact, quite often, molybdenum just comes after  
24 the passive film. So it's really this chromium oxide film.

1           The third question, which I think we're coming to  
2 the actual questions gradually here, is that how thick does  
3 this passive film grow? Well, we often find this sort of  
4  $1/t$ , in other words, the growth rate of the film is  
5 proportional to time. And if you extrapolate some data that  
6 exists, you find this thing doesn't really grow at all. It  
7 will never get further than about six or seven nanometers.

8           On the other hand, the assumption in this  $1/t$   
9 extrapolation of the corrosion rate is that the passive film  
10 is not dissolving. Well, that's clearly a poor assumption.  
11 And I just point it out here. Suppose even though the film  
12 development is limited by some film dissolution process, and  
13 even if this dissolution, the equilibrium solubility, if you  
14 like, is only on the order of  $10^{-14}$  molar, this  
15 would still pin the corrosion rate up at one nanometer per  
16 year. And if all this stuff is re-precipitated, you could  
17 build up a layer on top of the film.

18           Now, so what, you might say. It wouldn't be shiny  
19 any more, but it would still be protecting the contents.  
20 And, indeed, my general view is probably the so what is  
21 probably right response to that, because I think this C-22 is  
22 pretty good stuff. And most of these discussions on  
23 localized corrosion probably are going to lead to the  
24 conclusion that it will last pretty well, for at least

1 hundreds to thousands of years.

2           So, how could this mechanism of film growth change  
3 with time? Well, one aspect that's already been mentioned is  
4 that you have a steady outward drift in this thing called the  
5 corrosion potential. That's the steady state electro  
6 potential to metal. And not only do you have oxygen driving  
7 that up, you also have peroxide created by radiolysis on the  
8 surface of the container. And, in fact, this reaches the  
9 borderline of what I've chosen to call transpassivity,  
10 especially if the pH is a bit high. In fact, this  
11 transpassive dissolution is worse at high pH values than it  
12 is at neutral pH values.

13           And in the pulp and paper print industry, for  
14 example, when some people carelessly use peroxide as a bleach  
15 without thinking about their materials, they discover that  
16 these nickel based alloys would corrode at several  
17 millimeters a year. That was a lot more peroxide than you  
18 have in this system, obviously.

19           What is this transpassivity? Well, normally it's  
20 considered to be this chromium to chromium VI, and that might  
21 be possible, but the main thing that's going to happen is the  
22 molybdenum is going to dissolve out. So, to some extent,  
23 you're losing the beneficial effects of the molybdenum in the  
24 near surface layer as a result of this dissolution reaction.

1 So, in other words, the corrosion rate might level out  
2 instead of paring off and falling to 1/t.

3 Another thing that might do that is fluoride.  
4 Henning said that fluoride doesn't complex with chromium.  
5 But it certainly is an aggressive anion and might make the  
6 film continue to dissolve.

7 There are other things. Peroxide itself is a  
8 complexant of titanium. The same people that had the problem  
9 with the nickel based alloys in the pulp and paper industry,  
10 some of them replaced the nickel alloys with titanium, and  
11 promptly found that the titanium corroded away at several  
12 millimeters a year as well. And that's because the peroxial  
13 anion is actually a complexant of titanium. So there could  
14 be other things floating around in this water that you just  
15 have to think about, even organic materials, which are  
16 possible complexants that could make this corrosion rate  
17 level out instead of continuing to fall.

18 Having said that, I don't think that's going to  
19 make these things fall apart or leak all over Nevada, or  
20 anything like that.

21 But, can a thicker film be bad? A thicker film  
22 seems like it's good. It's a protective. Well, this is  
23 where we come to the issue of localized corrosion. And there  
24 is a strong possibility, and Professor Sato was the

1 originator of this kind of idea, is that if you have this  
2 thick sort of nanoporous type corrosion product film that  
3 results from this long-term passive dissolution, it can act  
4 like a membrane. Well, in fact, specifically can act like an  
5 anion selective membrane, such that you will stabilize the  
6 pitting process.

7           So, if we say that pitting is stable at 90 degrees  
8 in normal conditions, over long periods of time, you might  
9 find that pitting is just as stable as crevice corrosion in  
10 these containers, because this layer, this membrane of  
11 corrosion product will enable the pitting to survive under  
12 conditions where normally you'd only get crevice corrosion,  
13 essentially because the chloride ions can get in through the  
14 layer, but the metal ions can't get out. You build up the  
15 aggressive metal chloride environment underneath the film.

16           On the other hand, if by that time the temperatures  
17 fall to 60 degrees, I wouldn't anticipate that these  
18 containers are going to suffer any dramatic corrosion. And,  
19 in fact, all this discussion neglects the actual cathodic  
20 reaction, in other words, the reduction of oxygen or  
21 peroxide, whatever is the oxidant in the environment. I  
22 consider it perfectly possible that when you build up these  
23 thick layers, that in fact that might shut off the oxygen  
24 reduction reaction and make it very difficult for the process

1 to continue.

2           However, we should always remember this water is  
3 full of nitrate. Nitrate is also an oxidant. You can say,  
4 well, it's not very kinetically oxidizing, but it is there.

5           With regard to measuring these corrosion rates with  
6 electrochemistry, this water has enough redox activity in it  
7 that I would rather doubt the ability of electrochemistry to  
8 measure long-term corrosion rates when you've got nitrates  
9 and other things in the water.

10           And, finally, just a comment on metallurgy, is that  
11 we do have welds in these things. They have spatial  
12 variations in chromium and molybdenum are less corrosion  
13 resistant. I still don't understand why Henning's C-4 alloy  
14 pitted as easily as it did. It shouldn't pit like that at 60  
15 degrees anyway. These large areas of metal will have large  
16 inclusions, fabrication defects, and so forth, in them.

17           And I'll just mention phase transformations because  
18 at one time, people were talking about higher temperatures  
19 for these containers. Maybe that was a long time ago. But I  
20 would think that the temperatures that are being discussed  
21 now maybe these transformations are not important.

22           So, just reverting then to the two main points, I  
23 don't think these things are going to fail by passive  
24 corrosion, but you will develop probably thick layers,

1 microns thick layers, and these thick films will probably  
2 adversely affect the localized corrosion resistance, in other  
3 words, pitting resistance, they'll act like membranes, and  
4 you will, to some extent, have local, the possibility of  
5 local perforation of the material if it's exposed to the  
6 appropriate bulk environment. But, you know, I'd have one of  
7 these in my back yard, and if anybody wants to pay me to put  
8 it there, I'd be happy to discuss it with them later.

9           Thank you very much.

10          BULLEN: Thank you very much, Dr. Newman. We appreciate  
11 it.

12           Next up is Dr. Davenport.

13          DAVENPORT: Well, I think the issues that I've been  
14 considering are in many cases quite similar to a number of  
15 the ones that previous panel members have come up with. So  
16 I'll try and keep things fairly brief, so that it doesn't get  
17 too repetitive.

18           I'd like to start off by thinking about, very  
19 briefly, about how passive films actually form, and in  
20 aqueous environments, because obviously that's going to be  
21 the conditions where we're going to get the most severe  
22 attack, compared with dry conditions.

23           First of all, we're relying on a passive oxide  
24 film. The passive oxide film that does the job, that

1 actually drops the current density down to a low level so the  
2 corrosion resistance is very low is very thin. It's on the  
3 order of nanometers. The driving force has to do with the  
4 overall potential drop across the metal environment  
5 interface. And we form the passive film by a solid state  
6 process here, and it's driven by the electric field, and then  
7 we are going to have dissolution of the film at the surface.  
8 And chances are, over long periods of time, we're going to  
9 get to the point where we'll get to a limiting thickness of  
10 this film, where when we get to the dissolution, we're going  
11 to get a bit more film growth to replace the material that's  
12 lost.

13           So, chances are, in terms of the average passive  
14 current density, the average penetration rate of a passive  
15 system, is going to be affected by the solubility of these  
16 metal ions into the adjacent environment. Very much as Roger  
17 said before, these dissolved species are going to probably  
18 precipitate with things from the environment, ions from the  
19 environment, and also get involved with dust and scale and  
20 any other debris from the environment, to perform a much  
21 thicker external layer.

22           So, thinking about the factors that could actually  
23 make corrosion take place at a faster rate than we expect, I  
24 think the thing that we need to think about is what the

1 materials are that we're dealing with.

2           Now, the group of people here, I don't need to have  
3 to say this to, but to those of you who don't study passive  
4 films, it's very difficult to study passive films, and one of  
5 the first things that we do when we study passive films is  
6 try and work on a very, very well defined surface. So, a lot  
7 of us here spend a lot of time preparing single crystal  
8 surfaces or spotted thin films that are beautifully  
9 homogeneous, so we can test fundamental models.

10           And so I think there's a risk that we might  
11 possibly forget that we're dealing with real alloys, and we  
12 have to remind ourselves sometimes that the problem in these  
13 systems is going to happen at heterogeneities in the surface.  
14 These alloys have intermetallic particles. They have grain  
15 boundaries and dislocations which are high energy sites,  
16 where impurities can segregate.

17           When we're dealing with very large amounts of  
18 alloys, we're going to have big defects introduced from the  
19 processing of these alloys, and then when we have segregation  
20 and precipitation processes, we're going to get regions that  
21 are depleted in beneficial areas.

22           So, I think we have to remember that whatever  
23 theories that we're using to test these ideas, to test  
24 passivation processes, we have to remember what metallurgical

1 heterogeneity will do to this.

2           So, being a little bit more specific, what are the  
3 factors that could increase dissolution of passive films?  
4 We've got the possibility of impurities in the alloy, and  
5 over long periods of time, perhaps with elevated temperature,  
6 perhaps with the effect of vacancies introduced by radiation,  
7 is there a possibility that elements that we know are  
8 damaging to passive film stability, for example, sulfur and  
9 phosphorous, these will increase the dissolution of the  
10 passive film, is it possible that these, over long periods of  
11 time, can segregate to high energy sites such as grain  
12 boundaries or dislocations, so that we get a local  
13 enhancement in the rate of passivation?

14           Similarly, as I mentioned before, could we have the  
15 formation of intermetallic phases or solute-depleted regions?  
16 Again, could these happen over the very long periods of time  
17 that we're concerned about here?

18           To reiterate what Roger said further, other issues  
19 we have to consider are the possibility of transpassive  
20 dissolution. And this, for transpassive dissolution to take  
21 place in the system, we have to have a somewhat elevated  
22 potential compared with the open circuit potentials that  
23 people expect for this material in the environments that  
24 we're considering.

1           So, I think we have to think about what sort of  
2 factors might increase the open circuit potential, and those  
3 are going to be things that affect the cathodic reaction.  
4 And in worrying about anodic dissolution, I think it's very  
5 important that we don't forget the importance of the cathodic  
6 reaction.

7           Again, people have already talked about radiolysis.  
8 Are there some sites on the surface which could end up being  
9 catalytic for oxygen reduction, for whatever reason? Is  
10 there a possibility of microbial effects that could do that?

11           And then, finally, my comment earlier, what is the  
12 variation in the water chemistry across the repository? Is  
13 it a possibility that there are some regions in the  
14 repository where we might have particularly elevated  
15 concentrations of some adverse species? For example, sulfur  
16 oxyanions are known to be very detrimental in affecting the  
17 reaction of nickel based alloys.

18           The factors that affect localized corrosion are in  
19 some ways going to be quite similar to the factors that  
20 affect passivation. Again, we're concerned about the open  
21 circuit potential, so we're concerned about the cathodic  
22 reaction driving up the potential. Segregation of impurities  
23 or loss of beneficial elements is also going to affect  
24 localized corrosion, as well as passivation processes.

1           And, again, we have to think about the effects of  
2 these thick scale-like deposits. Roger has already mentioned  
3 these two factors, the idea that could we get crevice-like  
4 behavior underneath these deposits, and some issues such as  
5 ion-selective action of the deposits.

6           So I think the two main areas that I'd like to  
7 highlight are the metallurgy of the alloy and how the  
8 heterogeneities in the alloy that could lead to sites that  
9 actually behave worse than the bulk matrix of the alloy and,  
10 secondly, to think a lot more carefully about the cathodic  
11 reaction and things that could influence the cathodic  
12 reaction, and take the open circuit potential rather higher  
13 than we would perhaps normally expect.

14         BULLEN: Thank you very much. I appreciate your  
15 succinctness. That's great. It keeps us on schedule.

16           Our next presenter who had volunteered is Jerry  
17 Kruger. Dr. Kruger?

18         KRUGER: I'm going to restate the issue as I see it, and  
19 that is that even though the test facility results are a  
20 rather narrow range of conditions, show--and I'm quoting from  
21 it--no discernable effects of solution composition, vapor  
22 space, or direct emersion of placement, or temperature, the  
23 main issue, as I see it, is can long-term changes in these  
24 conditions completely overturn this result.

1           And, being an old time government worker, I'm going  
2 to follow very precisely the kind of instructions that we  
3 were given.

4           BULLEN: Thank you.

5           KRUGER: Including using the plausible mechanisms that  
6 were suggested. And it was said that we could use the ones,  
7 and I'll one of my own. First of all, is the defect  
8 sweeping, and that's described in the attachment, and I won't  
9 describe it. But, anyway, what happens is that the passive  
10 film becomes a film with high vacant densities and leads to  
11 enhanced ionic transport.

12           And then we were asked is this plausible? And I  
13 say, well, possibly plausible when conditions change over  
14 time.

15           The second one is vacancy build-up. And what we  
16 have is different rates of dissolution alloy components, and  
17 that, as has been pointed out by the last two or three  
18 speakers, is certainly a possibility when the potential  
19 brings you into the transpassive region. So, these different  
20 rates of dissolution yield to vacancies at alloy passive film  
21 interface, causing film disruption, the kind of point defect  
22 model that Digby Macdonald, for example, has worked on. And  
23 this is more likely to occur at discrete sites because of the  
24 metallurgy and impurities and various variations. And so

1 this would lead to localized corrosion.

2           So, in terms of uniform corrosion, perhaps not.  
3 But in terms of localized corrosion, certainly. It would  
4 lead to uniform corrosion if the disruption or the spalling  
5 of the film, which was mentioned, would remove large parts of  
6 the film, which I think is quite unlikely.

7           The third one of these speculative mechanisms is  
8 debris accumulation. And, here, the passive film is  
9 transformed into a film composed of corrosion products of  
10 hydrated metal ions. Henning Strehblow mentioned these. And  
11 the film is probably, again, the result of chrome depletion.

12           And as the work of, for example, Norio Sato showed,  
13 such films may be anion selective, thereby again promoting  
14 localized attack. So this is plausible for failure by  
15 localized attack. Again, the question number two. I looks  
16 like localized attack, is going to be a much bigger problem,  
17 of course. And as Roger Newman pointed out, the passive film  
18 is pretty darned good.

19           Incipient transpassive behavior. And this I think  
20 is maybe the biggest problem, because thermodynamics would  
21 predict that if the potentials become transpassive, you would  
22 get dissolution of molybdenum and chromium. They oxidize to  
23 soluble species, and this leads to an unprotective film, and  
24 the process is promoted at high pH, as Roger Newman

1 mentioned.

2           So, this is plausible if conditions change that  
3 lead to transpassive potentials, and we don't really know.  
4 We really need more research to determine whether this indeed  
5 could happen.

6           And, finally, one of my own additions on mechanism,  
7 and one that has generally been ignored, and that is gaseous  
8 oxidation. And, here, we form thicker layers by oxidation  
9 mechanisms that would occur when the system is dry and  
10 contains steam and/or air. Now, these layers, it's found in  
11 the research that has been going on that Dr. Sagüés  
12 mentioned, that this is a minor effect.

13           Sure, I agree, but over 1000 years, it may not be,  
14 and the films would grow very, very slowly, but they would  
15 grow, and they may not be as protective as the original  
16 passive film. So you could result, once the environment  
17 becomes wet again, and that could go between dry and wet a  
18 number of times, you have aqueous solutions with chloride  
19 ions, and these films may lead to localized corrosion.

20           So, this is plausible when conditions change from  
21 gaseous to aqueous solution environments.

22           Now, the next thing we were asked to do was  
23 experiments and/or theory to assess the validity of  
24 mechanisms, and I would suggest the follow two. One,

1 experiments and theories on the effects of environmental  
2 changes on the increase of potentials to transpassive values,  
3 leading again to the dissolution of the alloy components in  
4 the passive layer.

5           And, finally, the gaseous oxidation that I  
6 mentioned earlier in steam and/or air at temperatures, and we  
7 go to high temperatures just to speed things up a bit, 100 to  
8 250 degrees C. to determine the nature of the film produced  
9 over long times, and whether these films can resist localized  
10 attack in aqueous solutions containing aggressive anions, as  
11 the solution goes from dry to wet.

12           Now we get to question number two. We had a choice  
13 of 2A or 2B, or both, and I chose 2B, because 2A is more  
14 difficult. And this question 2B is localized corrosion  
15 mechanism for the initiation and propagation not dependent on  
16 the critical potential. And it has been suggested that if  
17 you are below the critical potential, you get metastable  
18 pitting, and many, many experiments have shown that this is  
19 so, and this is considered by many workers, for example, Tim  
20 Burstein from Cambridge, to be the kinetic precursor to  
21 stable pit growth.

22           And it especially can happen, I think, for long  
23 times. So one of a number of proposed ways in which these  
24 events of metastable pitting leading to stable pit growth can

1 be described is as follows.

2           One, the anion, probably chloride anion, moves  
3 through the passive film at local sites under the influence  
4 of an electric field, as Alison mentioned just a few moments  
5 ago.

6           We have the formation then of metal chlorides at  
7 discrete sites at the passive film-alloy interface. And the  
8 with the point vacancy model for pitting that Digby Macdonald  
9 has mentioned, we have initiation upon rupture of the film at  
10 the metal-chloride sites.

11           Then you get pit growth at the exposed sites  
12 sustained when chloride ions under diffusion control can  
13 prevent repassivation. And this would occur for the very  
14 large areas and below *E<sub>crit</sub>*. And our absent panel member,  
15 Hans Bohni, has also shown that crevice corrosion is  
16 considered by some to also be dependent on metastable  
17 initiation r-passivation events to sustain growth.

18           Now, finally, question 2C, experiments and theories  
19 to investigate the issues of 2B. And first of all, we need  
20 more experimental studies of metastable pitting by, for  
21 example, using things like Dr. Bertocci has done,  
22 electrochemical noise at environmental extremes that may  
23 develop in the repository.

24           We need theoretical treatment of the effects of

1 environment on the chloride ion transport through the passive  
2 layer under an electric field to examine the build-up of  
3 metal chloride at sites of local film distribution.

4           And, finally, we need theoretical treatment of such  
5 events as those in air and steam for long periods of time.

6           BULLEN: Thank you, Dr. Kruger. I appreciate your  
7 brevity. Dr. Rapp--oh, I have one more, and then I'll go to  
8 you.

9           Dr. Marcus has volunteered to go next, and then,  
10 Dr. Rapp, if you're interested? Okay, we'll go around the  
11 table. That would be great. Thank you.

12           MARCUS: Okay, we've been asked to answer some precise  
13 questions in a very concise manner, and although I don't work  
14 for the U.S. Government, I also tried to do it in a concise  
15 manner. So I have written down a number of phenomena which I  
16 believe could be important in terms of mechanisms that may  
17 cause the long-term corrosion rate to increase. So that was  
18 question number one.

19           And the proposed mechanisms I have indicated here  
20 four possibilities, which I think should be taken into  
21 account. I think we have to consider the increase or at  
22 least the change in the surface and interface roughness  
23 during dissolution in the passive states. Usually when a  
24 smooth surface is passivated, there is an increase of the

1 roughness, and I'm talking about roughness on the thermic  
2 scale, and this increase of the roughness is caused by  
3 competition between the dissolution of the metal and the  
4 formation of the oxide. So, there is a marked initial  
5 increase of the roughness.

6           Whether this roughness will continue to increase on  
7 the very long-term experiments, that is not known. Usually  
8 the roughness increases very much at the beginning, and then  
9 it does not increase very significantly over a time period of  
10 hours or tenths of hours, but over 10,000 years, I think we  
11 don't know.

12           And I think that this is an important issue,  
13 because there is no such thing as uniform dissolution in the  
14 passive states. In fact, dissolution of the passivated metal  
15 or alloys takes place at preferential sites, even without  
16 localized corrosion, on the atomic level, and any increase of  
17 the surface roughness will correspond to an increase of the  
18 number of defects. And, obviously, the dissolution current  
19 is proportional to the number of defects, and that could  
20 increase the dissolution in the passive states.

21           Now, similar reasoning leads to the consideration  
22 also of the roughness at the interface between the metal and  
23 the oxides, because that may be more important even for  
24 localized corrosion, because the dissolution of the cations

1 from the interface through the film to the electrolyte takes  
2 place essentially at defects located under the passive layer.  
3 So that's important both for general corrosion in the  
4 passive states, and also for the possible initiation of  
5 localized corrosion.

6           Another point which has already been mentioned  
7 previously is the accumulation of vacancies below the passive  
8 film, which may result from the injection of vacancies during  
9 dissolution of the oxides, at the surface of the oxide, as  
10 Digby proposed. But that would also be due just to the fact  
11 that in the passive state, dissolution involves the transport  
12 of metals from the interface to the surface of the oxide, and  
13 of course that leaves the vacancy behind, and if the vacancy  
14 cannot be annealed, then there might be correlations, and  
15 that can lead to the formation of cavities on long-term time  
16 periods.

17           Another aspect is, in my view, the segregation of  
18 impurities. Any alloy contains impurities, and these  
19 impurities can segregate at the interface and weaken the  
20 chemical balance between the substrate and the oxides. And  
21 there are two mechanisms of segregation of impurities in  
22 aqueous corrosion. One is the anodic process by which an  
23 impurity, this is illustrated here, an impurity even with a  
24 very, very small concentration, which is in the material can

1 accumulate at the surface, or at the interface with the oxide  
2 film while the metal is being dissolved.

3           So, even impurity levels of the order of the ppm,  
4 parts per million, can result over a long time period in the  
5 formation of very significant amounts of these impurities at  
6 the surface, or at the interface. This was found many years  
7 ago and called anodic segregation. This was found for sulfur  
8 on nickel and nickel based alloys. But this can also exist  
9 for other impurities, not only for sulfur.

10           Now, another, say, more classical process for  
11 surface segregation is, of course, the thermal segregation by  
12 diffusion, and perhaps we cannot exclude that if the  
13 temperature goes up to, say, 160 degrees, and that is an  
14 average temperature, I don't know what is the variability,  
15 and maybe in some local area that could even be higher. So  
16 if we reach temperatures of the order of 200 degrees Celcius,  
17 I don't think that we can exclude the possibility also to  
18 have segregation, interfacial segregation, under the effects  
19 of temperature, just by, in that case, with diffusion.

20           In the first case, there is no transport through  
21 the solid state which can take place at room temperature. Of  
22 course, in the second case, it would take place only in the  
23 case where the temperature becomes higher.

24           And the fourth mechanism which I think should be

1 taken into account is that the composition of the alloy near  
2 the interface can change. It's known that just under passive  
3 layers, alloys have a different composition than the nominal  
4 composition. Usually, the area of the thickness in which  
5 this composition is modified is very small. It's on the  
6 order of a few atomic planes. But, again, that's for  
7 experiments that last just some hours or tenths of hours.  
8 And over 10,000 years, I think we have to worry about the  
9 composition of the alloy under the oxides.

10           I have indicated here just the chromium depletion,  
11 but other elements, they can also become enriched or depleted  
12 in the zone which is under the oxide surface.

13           So, here, the emphasis that you see is maybe more  
14 on the interface between the oxide and the substrate than  
15 just on the surface, but I think issue is on the interface,  
16 the oxide alloy interface, can be important.

17           We were also asked to suggest some experiments of  
18 theoretical treatments to assess the validity of these  
19 proposed mechanisms. So this is only some general ideas. I  
20 think that there is correspondence between the colors in  
21 these dots. I think surface roughness which definitely needs  
22 at least some short-term measurements. We don't know at this  
23 stage, at least I don't know whether the roughness will  
24 increase or not, and that can be important. And then, of

1 course, we need to use simulation.

2           But I think that I don't necessarily agree with  
3 what Digby said earlier, that for any simulation or  
4 modelling, we need really to know the mechanisms. It has to  
5 be based on deterministic or mechanistic approach. So I  
6 think it's necessary to know the evolution of the surface and  
7 interface roughness, and then use the data in simulation.

8           The same would apply to the investigation of  
9 vacancies. We have been talking already a lot about  
10 vacancies under the film, but there are very few, and I think  
11 there is a real lack of data. There are now techniques  
12 capable of detecting vacancies under thin oxide layers, and I  
13 think experiments should be conducted, and then again the  
14 data should be used for simulation on long-term evolution.

15           Regarding the segregation of impurities, one way  
16 could be to produce alloy with increasing amounts of  
17 impurities, including sulfur, and then look at the behavior  
18 of some sort of accelerated tests on the effect of  
19 impurities. And I think we also need data on changes of  
20 composition for this particular alloy, changes of composition  
21 under the oxide layer, and again, data which could be used if  
22 they are based on a mechanism which could be used in  
23 simulation.

24           Now, about question number two, in fact, there are

1 many similarities between phenomena that can increase the  
2 corrosion in the passive state and those that can lead to  
3 localized corrosion. It's not two separate worlds. And I  
4 have mentioned here the passive film breakdown which can be  
5 caused also by segregation of impurities at the interface.  
6 So this is very similar to the mechanism I have shown before  
7 for anodic segregation on surfaces. But this time, we have  
8 the passive film, and this interface, and this is mentioned  
9 in one of the scenarios, the interface here is just sweeping  
10 the alloy with time because of the dissolution, and then we  
11 can have the accumulation of any impurity that cannot diffuse  
12 through the oxide layer.

13           And, for example, it's the case of sulfur, which  
14 does not diffuse even under the electric field through the  
15 oxide layers, and will accumulate here. But in that case, we  
16 usually have fluctuations of the concentration, with higher  
17 concentrations at the defects, so the vacancies are also  
18 important for this mechanism. And that can lead to localized  
19 breakdown of the film, and that breakdown is not really well  
20 described by just using the concept of critical potential,  
21 critical pitting potential.

22           Another aspect is the local depassivation by  
23 aggressive ions other than the chloride ions. This has been  
24 mentioned already I think by Henning Strehblow earlier. I

1 think we have to maybe worry about other anions than  
2 chloride, which can complex the surface. So, fluoride  
3 usually is not a complexing agent for chromium oxide, at  
4 least if we look at the general surface, but the question  
5 remains on whether maybe fluoride could have some effects on  
6 localized area over a very long time period.

7           So I don't want to say that it's only fluoride that  
8 should be considered, but say a number of anions present in  
9 the environment.

10           And now for the suggested experiments. I think  
11 that I have here brief suggestions. The answer is the same  
12 as for question number one. I think that for the localized  
13 breakdown of the film caused by progressive accumulation of  
14 impurity at the interface between the oxide and the metal  
15 where we could do some measurements with increasing amounts  
16 of impurities that could be considered as potentially  
17 detrimental, like sulfur, and that we'd also need some maybe  
18 more work on the mechanism of local depassivation by anions  
19 other than chloride ions which have already been studied a  
20 lot. Probably we need even more work on that, but we  
21 definitely need more information on the effects of anions  
22 other than chlorides in the perspective of long-term  
23 extrapolation of passive behavior.

24           Thank you.

1           BULLEN: Thank you, Dr. Marcus. Dr. Rapp?

2           RAPP: The panel members are well aware that I'm not an  
3 expert in aqueous corrosion, but I have studied for a while  
4 scaling and high temperature dry oxidation. And about four  
5 years ago, with Sylvain Larose, we prepared a review of low  
6 temperature oxidation of carbon steels, and low alloy steels  
7 for high level radioactive waste packages.

8                   At one time, as I understand it, a thick steel,  
9 cheap steel container was considered, and they wanted to know  
10 what would be the corrosion prediction for 1000 years. And  
11 so I will make some comments concerning the growth of dry  
12 scales on steels, but you can generalize the comments to  
13 other alloys, for example, C-22, eventually. At least for  
14 these steels below 550 C., you only make magnetite and  
15 hematite, and the proportion of the two scales is something  
16 like three to one. Cations are the migrating species in each  
17 scale layer, and by vacancy migration in hematite, but both  
18 interstitials and vacancy diffusion in magnetite.

19                   Well, the oxidation of pure iron had been studied  
20 very nicely by Caplan and Cohon, who's a world-class outfit  
21 for such studies, and they showed--this is a parabolic rates  
22 constant,  $K_p$ , this is the--the equation is the weight change  
23 squared is equal to  $K_{pt}$ . So the  $K_p$  is shown to be dependent  
24 upon the initial surface preparation, which has not been

1 mentioned once here today, I don't think, and they found that  
2 here for temperatures down even 400 C., that there's about an  
3 order of magnitude faster oxidation when a metal is  
4 electropolished, pure iron is electropolished--excuse me--  
5 lower when it's electropolished, and reasonably defect free,  
6 compared to a surface which has been cold worked and  
7 deformed.

8           So, I think in these canisters that will eventually  
9 be made, if they are, we should certainly have some specific  
10 initial surface treatment, and I would recommend  
11 electropolishing if that's possible.

12           Now, these are the results of a study, a very nice  
13 study by Runk and Kim on the oxidation of iron chromium  
14 alloys. They used mechanically polished surface, which would  
15 not be the best. They had three kinds of high purity alloys,  
16 .2, .4, .8 carbon. In other words, these were not commercial  
17 alloys. They had three kinds of microstructures, fine  
18 pearlite, coarse pearlite, spheridized structure, and at low  
19 temperature, at really low temperatures, 200 C., they did get  
20 logarithmic kinetics, but only for a matter of hours, or a  
21 day or so.

22           After that, everything became parabolic. And so  
23 this is what I would call low temperatures of interest to  
24 this canister, and these are our extrapolations of the

1 parabolic rate constants for a steel with .8 percent carbon  
2 to 1000 years.

3           Now, I'll tell you, by the way, if you look at this  
4 kinetic curve, this is the weight gain squared per unit area  
5 versus time, and this is the classic way that everybody gets  
6 a parabolic rate constant. They say when that becomes  
7 linear, that is an incorrect calculation, and we have  
8 corrected all of these.

9           You see, it is not parabolic unless this curve goes  
10 through zero. Then it is parabolic. Here, you see there's  
11 some initial rapid weight gain in both of these, and when you  
12 take the total weight gain squared, you have some initial,  
13 plus the time dependent  $W$  and you square it, there's always a  
14 middle term of  $2W$  initial times  $W$ , which never is terribly  
15 small.

16           So, if you instead analyze the weight change in  
17 such an experiment as the linear weight change versus the  
18 square root of time, you will get a true parabolic rate  
19 constant, and you will find out when it is established. So,  
20 we have done that, and these are corrected weight constants.

21           And the important point is after 1000 years, for .8  
22 carbon steel, these are all negligible. This is the weight  
23 gain, this is the thickness of the scale, and this is the  
24 recession of the alloy. These are all negligible, in my

1 opinion, for 1000 years. And because it's a parabolic, if  
2 you want 10,000 years, just take a ratio of times, square  
3 root of a ratio of times, and it will still be negligible.  
4 So, even carbon steel looks perfectly all right in a dry  
5 environment for the protection at these temperatures.

6           We also examined the oxidation of a two and a  
7 quarter Chrome-1 moly steel. And these, again, were abraded  
8 surfaces. The only studies available were hot temperatures,  
9 550 to 700, but it allowed us to get a corrected parabolic  
10 rate constant again, and look at its temperature dependence.  
11 And so we have extrapolated these high temperature data to  
12 low temperatures, and this is sort of a nice plot. It has  
13 three ordinate scales. One ordinate is the gravimetric  
14 parabolic rate constant. This is the recession parabolic  
15 rate constant. And this is the scale thickness parabolic  
16 rate constant. So, all of the data are on one plot.

17           But if you use that extrapolation, this is for a  
18 two and a quarter Chrome-1 moly steel, temperatures from 100  
19 to 100 C., once more, 1000 years of oxidation. These are all  
20 about a half as much as plain carbon steels, and they're all  
21 negligible. And if you take a parabolic ratio, a square  
22 ratio of the times, they're still negligible after 10,000  
23 years.

24           Now, there's been a lot of talk today about vacancy

1 and diffusion and annihilate at the metal scale interface and  
2 accumulation, and I just want to point out for high  
3 temperature scales where you have a crystalline scale and a  
4 crystalline metal, the metal scale interface is a site where  
5 you have epitaxial relationship obeyed. And if you look at a  
6 really simple one, for example, for nickel/nickel oxide where  
7 you have a parallel arrangement, the FCC planes of the metal  
8 are carried into the FCC cation planes of the oxide, which is  
9 the dominant parallel relationship, you have what are called  
10 misfit dislocations, a grid of misfit dislocations.

11           The difference in lattice parameter between, for  
12 example Ni and NiO, is about 14 percent, or so. Therefore,  
13 you have one of these misfit dislocations which amounts to an  
14 edged dislocation in the metal reaching the interface, about  
15 every seven or eight lattice spacings. They are all over the  
16 place.

17           On the other hand, any place where a slip plane  
18 intersects the metal scale interface, there, dislocations of  
19 the opposite verterspecter can become part of the interface,  
20 and those are called misorientation dislocations, and they  
21 are equivalent to a minor tilt away from this ideal epitaxial  
22 relation. You could look at these misorientation  
23 dislocations as little steps, if you like, or otherwise just  
24 squeeze it down and then you've got a dislocation in the

1 interface. And, in fact, these steps are also created  
2 whenever a, for example, a screw dislocation in the metal  
3 goes right through the epitaxial relation, into the oxide,  
4 and it sets up a spiral staircase of these monatomic steps.

5           In any case, the way in high temperature oxidation,  
6 and I'm sure it also happens in aqueous solutions if you have  
7 a scale that is at all crystalline and epitaxial, the way  
8 vacancies are annihilated is that vacancies arriving through  
9 the corrosion product climbs these dislocations. The  
10 misorientation dislocations climb in the plane of the  
11 interface. The misfit dislocations would have to climb,  
12 leave the interface and climb into the metal. But these  
13 dislocations are all over the place, and when I hear about  
14 vacancy injection into the metal as the way of getting rid of  
15 vacancies, I don't believe it and I don't--I just don't  
16 believe it.

17           So, now, what good can we make out of this--two  
18 more minutes, good. In high temperature scaling reactions,  
19 we have something called a reactive element effect. The  
20 reactive element effect says the following. For certain very  
21 large, highly charged cations, we observe a drastic drop in  
22 parabolic rate constant, very much better adherence, and the  
23 mechanism changes from cation diffusion out to anion  
24 diffusion in a fantastic triple positive effect, and this is

1 the mechanism by which this works.

2           You see, if the scale can only grow by vacancy  
3 diffusion and annihilation here, it can't grow if you pin the  
4 dislocations so they won't climb. And this is what cerium  
5 and yttrium do in an alloy chromium interface, for example.  
6 These wrong sized cations, like yttrium and cerium, which are  
7 45 percent too big, simply pin these dislocations.

8           If cation vacancies cannot be annihilated, then the  
9 scale grows by anion diffusion, which is the only  
10 alternative. Anion diffusion is very much slower. It makes  
11 a very nice adherent scale, and it's an excellent idea.

12           Here's an example for nickel oxide growing on  
13 nickel at a hot temperature. If you put 250 angstroms of  
14 calcium on the surface, just I mean spray it on the surface  
15 externally, the scaling kinetics go from this one to this  
16 one, and if you plot the weight gain versus the square root  
17 of time, you see you have reduced the scaling rate by a  
18 factor, parabolic rate constant, by a factor of 20. And this  
19 is extremely adherent.

20           And the same kinetics more relevant to the alloy  
21 22, here is an alloy, iron 25 chromium, which grows a  
22 chromium layer. If you add only 40 angstroms of ceria to the  
23 surface by sputtering, you can reduce the scaling kinetics  
24 from this one to this one, and the adherence is great.

1           Another example, this is for a nickel 30 chromium  
2 alloy, getting pretty close to C-22. These are the ordinary  
3 scaling kinetics at a hot temperature, agreed, but if you  
4 will ion implant 10 to the 16th cerium ions into the metal,  
5 you will drop the oxidation kinetics like that.

6           And, finally, this is a cobalt chromium alloy. So  
7 I just want to show you the generality of this mechanism.  
8 Unimplanted oxidation to form chromium oxide follows these  
9 kinetics. If you will ion implant yttrium into the metal,  
10 you can drop the scaling rate by several orders of magnitude,  
11 and the scale adherence is excellent. I think that this sort  
12 of a doping mechanism should be considered in aqueous  
13 solution.

14         BULLEN: Thank you, Dr. Rapp. I appreciate--well,  
15 actually, Dr. Smialowska is next, and then Dr. Bertocci.

16         SMIALOWSKA: What I would like to do is to say a few  
17 words concerning the property of the passive film which are  
18 of interest and importance for my further discussion.

19           So, what we know is that during the film growth,  
20 you have logarithmic growth of passive film. In fact,  
21 logarithmic growth of the thin films are always logarithmic.  
22 And initially, what you have is you have quite high current,  
23 and during these currents, you produce, you grow fast the  
24 film, and at the same time, you dissolve metal or alloys. So

1 this is a non-stationary state when you have selective  
2 dissolution of alloy, and at the same time, passive film  
3 growth.

4           We know later on in stationary conditions, that the  
5 whole current in the passive range is going for dissolution  
6 of film, not film, but passive dissolution.

7           So, the passive film is, as everybody knows, not--  
8 the bi-layer films. There are two layers, an inner layer,  
9 which is oxide film, and an outer layer, which is hydroxide  
10 film. And, for me, the most important is the hydroxide,  
11 because hydroxide films stabilize the passive film.

12           Another very important phenomena is the aging  
13 effect. During the aging, you have improved the property,  
14 corrosion property of the film, and decreased the number of  
15 defects. I am not talking about this phenomena when we have  
16 increase of the corrosion potential and we reach the  
17 localized corrosion. I am talking about the general  
18 corrosion.

19           So, now what we have in the corrosion in the  
20 repository, so the people did a lot of measurements trying to  
21 find the corrosion rate, and these experiments were done  
22 usually by immersing the specimens into the bulk of the  
23 solution. There are some data also in vapor phase, but  
24 mostly there are these experiments by immersion in the

1 solution.

2           In fact, in repository conditions, we do not have  
3 this kind of corrosion. We have the corrosion in very thin  
4 layers on the metal surface. And this surface, liquid layer,  
5 has no constant composition. The thickness also is not the  
6 same, because of different phenomena which can occur in the  
7 repository, like changing of humidity, changing of flow of  
8 air, changing of temperature, salt precipitation, and so on.

9           So, therefore, the corrosion in bulk solution do  
10 not necessarily represent the corrosion rate on the waste  
11 package. And we can differentiate two extreme cases. One,  
12 we have on this layer of fluid on the metal surface, we have  
13 solution, dilute solution, and we have precipitated salt  
14 film, which would be soluble in water, or insoluble in water.  
15 And, in fact, we're not--this would be dry corrosion. It  
16 means the water will be absent.

17           So, now, one, if you will do the experiments, the  
18 experiments in some kind of periodic way, one to have wet  
19 conditions and another time you have the dry conditions, then  
20 we will be much more closer to a real situation.

21           But what will happen during this time when we have  
22 dry conditions on the metal surface? We will have for sure  
23 some interaction between salt and oxide film, and between  
24 salt and this outer layer of the film when we have

1 hydroxides. So we will have the degradation of oxide film,  
2 and we will produce in fact oxide film. And it is also quite  
3 known from the experiments that oxide film is much more  
4 susceptible to corrosion without this hydroxide film.

5           So, in fact, we will have destabilization of the  
6 passive film. And when we have this situation, we will  
7 change the -- wet corrosion, when we have electrochemical  
8 corrosion, to these dry conditions, then we destabilize this  
9 film very much, and we will have, in fact, a result of this  
10 procedure will be that the corrosion rate will be probably  
11 much higher.

12           So, I think that it would be very useful to do  
13 these kind of experiments, it's much more real in thin film  
14 of solution, and taking into consideration that we can have  
15 this situation when we will not have on the metal surface  
16 water.

17           Now, I have some kind of remarks concerning the  
18 increase of corrosion after long time by vacancy and defect  
19 accumulations. So, there are two propositions that we can  
20 have vacancy accumulation, either in the metal phase, either  
21 on the interface on the metal, either in the passive layer.  
22 So everything would be fine, even if I will accept another  
23 model. It seems to me that these models do not apply to the  
24 situation when we are doing the experiments for this very

1 long time of exposure, because during the aging, what we know  
2 from the short time, we have improvement of corrosion  
3 resistance, and not increasing of the corrosion resistance.

4           So it is difficult to accept that during the long  
5 time of aging, there is different mechanism than in the short  
6 time of aging. If it would be like this, we should have some  
7 kind of changing of mechanism that is going on in short term,  
8 and long term. You can, of course, find some mechanism which  
9 would be okay, or relevant or not relevant to what we have.  
10 For example, we can assume that after this short aging time,  
11 the film is much more perfect.

12           But at the same time, you will produce in the  
13 passive film, some stresses, stresses and cracks which  
14 destabilize the film, and you will return to this condition  
15 which you have during the short time of aging.

16           So there is also a proposition that you can have  
17 during the longer period, longer time, you can have selective  
18 dissolution of the alloys. Again, if we will assume that the  
19 same mechanism is varied for short times and long times, you  
20 should not have, of course, selective dissolution, because  
21 selective dissolution occurs only in initial times of passive  
22 film formation.

23           These are my remarks concerning the general  
24 corrosion during the longer period of times. And now I would

1 like to say only a few words about localized corrosion, which  
2 I think that the repassivation potential for crevice and  
3 repassivation potential criterion for pitting are valid to  
4 determine whether localized corrosion will or will not occur.  
5 But, again, only when you have defined conditions. But when  
6 the conditions are changing, that you have destabilization of  
7 the oxide film, then of course you will not be able to use  
8 this kind of criteria.

9           So, that is all.

10          BULLEN: Thank you very much, Dr. Smialowska.

11           Our next presentation is Dr. Bertocci.

12          BERTOCCI: All the previous panelists have already  
13 presented, I think, all the possible mechanisms, and so  
14 forth. So I hope to do it in much less than the five minutes  
15 that I have.

16           The short answer for the first question, if I look  
17 at that report, which is the one that Professor Sagüés showed  
18 at the beginning, the short answer is no, I don't really see  
19 how it could corrode. One could even say that maybe the  
20 thickness will increase, since there is certain probability  
21 that the weight increases according to the data.

22           But I would like to stress a certain point. Maybe  
23 I'm flogging a dead horse. And it's radiation damage. This  
24 thing is sitting in a gamma field for a long time, and there

1 is also a neutron field that comes about, and I'm not an  
2 expert, but I would wonder whether this will affect the  
3 behavior of the material. After all, it's a metastable alloy  
4 on the things, and who knows what happens. Maybe there is --  
5 inhibition of corrosion, as somebody has found, in certain  
6 cases, but who knows.

7           This vapor is not important in any way, but it's  
8 the case where the nickel passivity, here we deal actually  
9 more with the chromium layer, but it's reduced by foreign  
10 element. Do the neutrons create enough impurities in a  
11 certain time to cause problems? This is what I would like to  
12 hear.

13           The second, also the short answer is no. But,  
14 again, one is worried about the radiolysis field. We have a  
15 gamma field for years and years, which would create hydrogen  
16 peroxide and nitrous oxide, and apparently there will be  
17 ventilation for a long time, so part of these products might  
18 be carried away, but where? They might end up in the rocks  
19 and come back 5000 years later as nitric acid, or something  
20 like that.

21           Probably this is a crazy idea, but I'd like to  
22 mention it. And I think the main point, in conclusion, is  
23 that I would like to see models describing the behavior of  
24 the passive film, rather than counting on some parts which

1 have been kept in solution for years. And in a certain  
2 sense, Gustavo in the beginning, and of course Digby have  
3 addressed this point, so there is no point in continuing  
4 talking about that.

5           But from the reports that you find on Yucca  
6 Mountain, you don't find any other information, except weight  
7 losses and maybe a little bit of elementary electrochemistry.  
8 I mention some of the things that could be desirable.  
9 Impedance measurements, and Gustavo is doing that. Noise,  
10 just to make a little bit of noise. The kinetics of the  
11 redox reactions on the passive layer, transports, and so  
12 forth. And we have now specimens which have been sitting  
13 there for a year. Do they behave differently if you take  
14 them and you do the electrochemistry on them?

15           I mention here an example of Schultze's laboratory,  
16 in which they look at the gamma radiation on titanium, which  
17 is probably not relevant here, but it would be nice to see  
18 their work done on these materials.

19           Thank you.

20           BULLEN: Thank you very much, Dr. Bertocci.

21           Our next presenter is Dr. MacDougall.

22           MACDOUGALL: It's certainly difficult to be as brief as  
23 Ugo. I will try to be a little bit brief, if possible.

24           This alloy, Alloy 22, is one I haven't worked on at

1 all. But I have worked on other systems that I think have  
2 relevance in fact. I think everybody here today has talked  
3 about the fact that it has a thin oxide film, which confers  
4 passivity, and you have to maintain that thin oxide film on  
5 the surface.

6 I have a little bit of a cartoon at the bottom  
7 there showing, in fact, a metal or alloy with a very thin  
8 oxide film and defects associated with that particular oxide  
9 film, breakdown of the oxide occurring at the defects, most  
10 probably some chemical dissolution, or something like that,  
11 and some repair mechanism, and the current efficiency for  
12 that depends on how much of this parallel metal or alloy  
13 dissolution reaction there is, in fact, going to be.

14 I've done a lot of work with nickel and iron over  
15 the years, and I want to say one of the things that probably  
16 troubles me about this particular system, although I  
17 certainly hear that Alloy 22 is an outstanding candidate, and  
18 one of the things that I think has to be looked at a bit for  
19 that, and this, again, just simply shows rather the cartoon  
20 of a very thin passive oxide film on some metal or alloy, a  
21 breakdown, and then chloride migration interfering with the  
22 repair, an attack and the pits developing on that particular  
23 surface. And most of us are, I think, aware of that sort of  
24 thing.

1           In the case of nickel and iron, I did a lot of work  
2 years ago with my own hands looking at chloride induced  
3 pitting of nickel after I pre-passivated the sample, added  
4 the chloride at a certain period of time, and found there was  
5 a certain induction time for pitting. And this is in  
6 chloride.

7           In fluoride solutions, different, I pre-passivated  
8 in a non-fluoride containing solution, and then I added  
9 fluoride at time zero, and the current behavior is absolutely  
10 different in fluoride containing solutions. The pH, the  
11 composition, I won't get into at the moment, but there is a  
12 slow gradual increase of a current. This is a depassivation  
13 which is occurring, and the chloride and fluoride were quite  
14 different in terms of their breakdown modes, depassivation  
15 modes, in fact, this thing leading to one or two pits on the  
16 surface, this thing leading to massive depassivation and a  
17 very, very rough surface.

18           What I found was, in fact, that the worst  
19 combination that you could have for the nickel and the iron--  
20 I investigated this in iron, too--was a combination of  
21 fluoride and chloride in solution. There seemed to be some  
22 sort of synergism between the two of them where the total was  
23 more than the sum of both parts.

24           I'm showing here again chloride. What I'm doing

1 here is in the case of nickel, stepping the potential from  
2 some oxide free region into the passive region, and  
3 monitoring the response of the current with time. This is in  
4 a sulfate solution, a background solution.

5 Chloride, you have an increase in the charge  
6 because the chloride competitively absorbs, interferes with  
7 passivation in the short term. Bromide is here also.  
8 Fluoride doesn't give that much of an interference initially  
9 in terms of the charge. But what fluoride is able to do is  
10 it interferes longer term. The current will not fall by this  
11 time, in point of fact, the seconds here, I guess, or  
12 whatever it is. The current, in the case of chloride and  
13 bromide, would have been down here if pitting had not in fact  
14 occurred.

15 So, the fluoride incorporation into the passive  
16 oxide film, I measured the amounts of fluoride I was getting  
17 in my NiO films. They could be as much as 15 and 20 percent  
18 in those films. Chloride, I never got those amounts. I got  
19 2 to 3 percent.

20 Reasons for that complexation, but also the F-minus  
21 anion, in fact, has a radius which is comparable to that, an  
22 ionic radius of 02 minus at 1.3 angstroms. Chloride is, Cl  
23 minus is 1.8 angstroms. So you could get that. So what you  
24 have is in a case of a system where you have both fluoride

1 and chloride simultaneously in the solution, you have the  
2 worst of all worlds. You have the short-term interference  
3 and long-term. If you could possibly do things in the short-  
4 term, the fluoride was still there to cause, in fact, the  
5 interference, and held that thing up so the chloride had a  
6 lot longer to work its nasty business.

7           And when we used to have people visiting from time  
8 to time, we would have senior officials come by, and if I  
9 wanted to pit a sample in a swiss cheese mode, it would be  
10 nickel and iron, not Alloy 22, obviously, but it would be in  
11 that particular concoction, that particular solution, a  
12 combined solution of chloride and fluoride.

13           So, I think it's very important for the people who  
14 are doing these experiments with the Alloy 22, which may  
15 indeed be resistant to many of these things, to work in  
16 solutions which contain simultaneously the fluoride and the  
17 chloride.

18           The question, and I'm not going to go into all the  
19 parts of this question number two, which I tried to address,  
20 in fact, but I would just concentrate on this part here,  
21 which is one of the complexation, the ability, and I'm using  
22 cyanide--thank God there's no cyanide in this particular  
23 system--but this is a very, very famous cathodic reaction,  
24 and I think that most of us know it, in fact. We may have

1 forgotten it. And it's the stability complexes of the ferree  
2 (sic) versus the ferro cyanide.

3           And you can see by complexing with cyanide, you  
4 move the potential something like 400 millivolts, in fact, in  
5 the wrong direction in this particular system. You made iron  
6 dissolution that much easier, so you don't have to change the  
7 open circuit potential. In fact, in a case like that, the  
8 driving force has gone up for that particular reaction, the  
9 anodic iron dissolution reaction, by an amount of 400  
10 millivolts. And, in fact, we have lots of complexing ions in  
11 this particular system, so that's something that should be  
12 taken into consideration.

13           And I would finish off by saying just there was a  
14 question asked about was there a result that you ever  
15 obtained which was a bit shocking, unexpected, or something  
16 like that. And I guess the biggest one that I had was quite  
17 a few years ago when I did work with nickel, and I was  
18 looking at pitting of nickel in chloride containing  
19 solutions, no fluoride, here just chloride. And I was  
20 measuring the induction times, and I pre-passivated a sample  
21 and then I looked at different potentials, and really what  
22 one has is a critical pitting potential range, I suppose,  
23 with sort of an exponential increase of the induction time.  
24 Obviously, as you go to more anodic potentials, the pitting

1 is going to occur more and more rapidly.

2           This was the one done in a standard mode, pre-  
3 passivating in a non-chloride containing solution. This was  
4 the one where I pre-passivated in a chloride containing  
5 solution. I notice chloride in the film. It didn't pit, but  
6 I got chloride in the passive oxide film. And the trouble  
7 was this particular curve should have been down here,  
8 obviously, if all of the theories were correct, because  
9 chloride is a precursor to pit initiation. And because I  
10 obtained this result, I had to do literally hundreds and  
11 hundreds and hundreds of experiments, because people in the  
12 lab did not believe it, and it kept on coming up this way.

13           I think I have the explanation for it. I think I  
14 have one. I know others have others. But that result is  
15 true. So we have shifted the pitting potential range to more  
16 anoded values, making it more difficult for the nickel to  
17 pit, by incorporating chloride into that passive film before  
18 we did the pitting experiment. It was done in a sequence or  
19 series of steps there. And, as I say, if this result had  
20 been down here, it would have been a nice easy simple sort of  
21 experiment.

22           So, there can be times when you predict something  
23 and you're certain that chloride is a precursor, and maybe in  
24 some state it is a precursor to pit initiation. In this case

1 here, the chloride in the film made the nickel metal more  
2 resistant to pit initiation.

3           I'd just like to emphasize again that I think it's  
4 extremely important, in fact, that one do these experiments  
5 in combined solutions, so the amounts of fluoride you have in  
6 those solutions is not small, the amounts of chloride is not  
7 small in those dried, evaporated modes. And in the case of  
8 nickel, I could get pitting with 100 or 1000 times less  
9 chloride/fluoride than what we have here. Of course, Alloy  
10 22 is going to be a lot more resistant, but then one has an  
11 awful lot more time to do these things.

12       BULLEN: Thank you, Dr. MacDougall. Do you have a  
13 question, Gustavo?

14       CRAGNOLINO: Yes. The purpose of clarification of that  
15 plot, when you pre-passivate in a chloride containment  
16 solution, this will then have a potential obviously lower  
17 than 50 millivolts.

18       MACDOUGALL: Yes.

19       CRAGNOLINO: I mean, as you age the film, even in the  
20 presence of chlorides, but in a regime in which pitting  
21 cannot be induced.

22       MACDOUGALL: Cannot be induced. That's right. That's  
23 right. If there was any pitting, it would simply be null and  
24 void, and the result wouldn't be worth commenting on.

1 BULLEN: Next is Professor Shibata.

2 SHIBATA: When I received this agenda, I'm finding the  
3 premise that fundamental knowledge suggests that the passive  
4 layer on such material is thermodynamically stable. So, I  
5 think that this system is thermodynamically not stable. So,  
6 I think increasing the long term passive dissolution of alloy  
7 seems not to be expected, but still no definite evidence  
8 exists because this system is thermodynamically a very open  
9 system and there is a free exchange of matter and energy.  
10 Then, the system is not at equilibrium.

11 There are many explanations already presented. So,  
12 I'd just like to point out one factor. The alloy and the  
13 environment system is a very complicated, large component  
14 system which is difficult to reach a simple equilibrium  
15 state. An important point is the selective dissolution or  
16 selective enrichment of a specific element. And, Roger  
17 Newman said that the main point of this passive term is  
18 chromium oxide is a main player. So, I'd like to know about  
19 this process. Selective enrichment of chromium is very  
20 important, I think.

21 Unfortunately, we know the very short time  
22 enrichment process and we know the exact analysis over such  
23 kind of enrichment process, but know it's a long time or a  
24 long time exposure and its (inaudible) density is known. So,

1 the compositional change will continue for a long time. So,  
2 we like to get definite evidence for this change.

3           Unfortunately, you know, the natural analog studies  
4 are done on the carbon steel and copper alloys, but still do  
5 not exist for the stainless steel. So, I hope the long term  
6 selective enrichment evidence will be accumulated.

7           So, I'd like to focus on the localized corrosion.  
8 In the document, I stated this condition is deciding the  
9 localized corrosion occurrence. So, it is well-accepted that  
10 the possibility of the initiation and development of a local  
11 corrosion could be judged by just comparing the open circuit  
12 potential with the critical potential here. But, of course,  
13 the open circuit potential is quite easy to measure. But,  
14 standardized method has have been known for measuring  
15 critical potential of pitting. But, still many discussions  
16 on the definition of the initiation and repassivation of  
17 crevice are discussed in the Report. In Japan, the same  
18 situation existed through 1980 to '90. But, this year, a  
19 method proposed by Professor Tsujikawa is standardized in  
20 Japanese Industry Standard.

21           This method for measuring the critical potential  
22 for repassivation of crevice is standardized in Japanese  
23 Industry Standard. The basic concept of this method is  
24 specimen with crevice former is used and preliminary

1 existence of the crevice produced by the constant anodic  
2 current is necessary to measure or define the crevice  
3 repassivation potential.

4           The critical potential for stopping the growth of a  
5 crevice, we call this one  $E_{R,CRV}$  and it was decided by the  
6 potentiostatically step down method. The anodic current  
7 decreases at the constant potential after step down and again  
8 increases if the potential is over  $E_{R,CRV}$ . When the potential  
9 is equal to  $E_{R,CRV}$ , the anodic current stops to increase. So,  
10 we can easily define  $E_{R,CRV}$ .

11           Here is a specimen with crevice former. We have  
12 some crevice here. The main point is that initially we  
13 increase the potential by potentiodynamic method, and if the  
14 current leads to the 200 microamperes, we kept it constant at  
15 the galvanic constant techniques. So, this corresponding to  
16 the potential decrease back here. After enough crevice is  
17 formed, the potentiostatically step down here just 10mV. So,  
18 if you measure the anodic current, anodic current decreases  
19 fast and again increases because this crevice is active. So,  
20 the anodic current increases. At this point, we again step  
21 down potentiostatically so the anodic current decreases,  
22 again increasing if this crevice is active. This process is  
23 repeated. Several step changes, the current decreases, and  
24 no increase is observed here. So, we can decide the  $E_{R,CRV}$

1 potential here. This procedure precisely decided the crevice  
2 repassivation potential for the crevice. And, also, the  
3 method that is required to confirm the existence of 40  
4 micrometer depth crevice after the measurement.

5           When we use this kind of method, we can decide the  
6  $E_{R,CRV}$ . This is the dependent of the other function of  
7 chloride concentration. If you use the potentiodynamic  
8 method, you can decide such kind of crevice potential. But,  
9 this kind of crevice potential is much lower here. But, if  
10 you use the potentiostatic step down method or long time step  
11 down method, we can decide, like this one. But, if you use  
12 the higher speed of potential, a much lower value is  
13 obtained.

14           So, the criterion use that--if the natural  
15 corrosion open such potential here, then lower concentration  
16 can be a load for this kind of initiation or stopping the  
17 growth here. But, if the natural corrosion potential around  
18 here are much higher chloride concentration is allowed. So,  
19 this is a very good criterion.

20           But, why such method is not the standardized in our  
21 business--? Because industry people they just use such kind  
22 of idea because this barrier is so much severe, so ordinary  
23 stainless steels--like 304, 316 cannot be used if this kind  
24 of criterion used in the ordinary environment. But, a

1 designer or a user still can safely use this kind of  
2 material, even if the  $E_{R,CRV}$  is much lower, because the  
3 designer avoid to make a crevice condition and a user, of  
4 course, usually cleaning and avoids a crevice formation. So,  
5 in that case, we can use even with such kind of conditions.

6           So, I think that this  $E_{R,CRV}$  measurement value is  
7 very suitable for the long time protection of the crevice  
8 formation for this kind of material. I don't know that  
9 Alloy-22 can be measured by this kind of method. But, this  
10 is a very-- a reproducible result can be obtained. And,  
11 also, this procedure can be the program by using the  
12 computer. So, this is a very good method to decide the  $E_{R,CRV}$ .

13           I'd like to add some comment to the distribution of  
14 natural corrosion potential or on the also critical  
15 potential. Of course, the natural corrosion potential, also  
16 distribution like this one, and the  $E_{critical}$  is also  
17 distribution. This area can be pitting or crevice possible  
18 here. So, this is very important to decide what kind of  
19 distribution function can be observed for this alloy in the  
20 environment of a combination.

21           And, the probability density function of pitting  
22 potential, the experimental data on this pdf, many data is  
23 accumulated. And, normal distribution is observed for  
24 pitting potential. A general trend is observed at the higher

1 pitting potential and seems to show a wider scattering, but,  
2 of course, some exception exists. Of course, just depending  
3 on the material, environment, or combination. But, the  
4 general trend, the higher pitting potential seems to show  
5 wider scattering. So, this material, Alloy-22, is a very  
6 high (inaudible) material. So, I think such kind of behavior  
7 will be expected.

8           And then, how the  $E_{R,CRV}$  the probability density  
9 function, not so many data is accumulated of this  $E_{R,CRV}$ . But,  
10 normal distribution can be fitted for also. A more narrow  
11 distribution is observed for  $E_{R,CRV}$  than pitting potential.  
12 This is possibly caused by the measuring method itself  
13 because a slower stepping method is used.

14           So, now I conclude that increasing the long term  
15 passive dissolution of alloy seems not to be certain, but  
16 still no definite thinking has existed. Changing the  
17 composition of the passive film including the subsurface due  
18 to selective enrichment should be clarified.

19           And, criterion of this condition can be used for  
20 assessment of possibility of localized corrosion. More  
21 discussion is required to deciding the critical potential for  
22 crevice corrosion.

23           We propose that the method which was proposed by  
24 Tsujikawa will provide a reliable and a confidential critical

1 potential,  $E_{R,CRV}$ , for the repassivation of the crevice which  
2 was produced before the measurement. So, information about  
3 probability density function of  $E_{R,CRV}$  should be accumulated.

4 Thank you.

5 BULLEN: Thank you, Dr. Shibata.

6 Could we move on to Dr. Sato now? I'm going to  
7 take some chair's prerogative and we're going to go through  
8 all the presentations before lunch. So, we hope to finish  
9 and we will give you an hour and 15 minutes for lunch. It  
10 just might be in about 20 minutes from now.

11 SATO: Thank you. Well, because of the short time, I  
12 would like to focus our attention on the open circuit  
13 potential, particularly. During long-term storage, it may  
14 happen for some reason that semiconducting oxides are formed  
15 and brought into contact with the alloy surfaces. The open  
16 circuit potential of the alloy depends not only on the  
17 aqueous environment, but also the semiconducting oxide  
18 present on the alloy surface. Here, two pieces of solid  
19 electrode. One is a metal and the other is the oxide. An  
20 isolated metal electrode sets its electrode potential at the  
21 so-called corrosion potential while the oxide electrode  
22 stands at its-- flat band potential. If you get in contact  
23 these two electrodes, then the mixed electrode potential come  
24 to somewhere between the corrosion potential and the flat

1 band potential. And, when the oxide is excited by radiation  
2 or photo illumination, so that you have quite a concentration  
3 of excited holes and electrons, then the mixed electrode  
4 potential usually come to very close to the flat band  
5 potential.

6 Under illumination, as you see here, semiconducting  
7 oxide in contact with metal surface affects the open circuit  
8 potential of the metal. The oxide potential comes across to  
9 the flat band potential reaching usually more positive in the  
10 case of p-type oxide or n-type oxide. In the case of n-type  
11 oxide, the flat band potential is more negative than the  
12 potential of the passive metals. The oxide metal mixed  
13 electrode potential thereby shifts the potential in the  
14 positive direction. In the case of p-type oxide, while n-  
15 type oxide shifts the open circuit potential in the negative  
16 direction.

17 Here is the electronic level diagram for metal and  
18 p-type oxides. When being excited by radiation, in  
19 particular, p-type oxides may elevate the electrode  
20 potential. It opens up the potential (open circuit potential  
21 of the passive metals). And it may happen the electrode  
22 potential gets up to the point more than the passivity  
23 breakdown potential. We have two kinds of critical passivity  
24 breakdown potential. One is for pitting initiation potential

1 and the other is the crevice corrosion. Usually, the pitting  
2 initiation potential is more anodic, more positive, than the  
3 crevice prediction potential. So that crevice corrosion  
4 really is more likely to occur when the electrode potential  
5 is going up.

6           Here is the schematic representation. When you  
7 have no oxide on the passive metal surface, your electrode  
8 potential is rather narrative. But, if you have p-type oxide  
9 on the metal surface, the electrode potential is going up  
10 then. If the electrode potential becomes beyond the certain  
11 critical potential, you have passivity breakdown. And, here,  
12 the localized type of corrosion occurs.

13           In addition, under the illumination, the excited  
14 electrons in the conduction bundle of the oxide are now  
15 incapable of reducing water molecule to produce hydrogen on  
16 the oxide surfaces. So that you have hydrogen evolution,  
17 cathodic hydrogen evolution, taking place on the metal  
18 electrodes which can be coupled with the anodic metal  
19 dissolution at the passivity breakdown sites. Therefore, you  
20 have a local corrosion cell, anodic metal dissolution,  
21 coupled with the cathodic hydrogen evolution on the oxide  
22 surface. So, it means this type of local corrosion is taking  
23 place even in the absence of oxygen. Of course, in the  
24 presence of oxygen, the local dissolution current is very

1 much faster.

2           In the case of n-type oxide, you have the situation  
3 exactly the reverse to the case of p-type oxides. The n-type  
4 oxides shifts the open circuit potential in the cathodic  
5 direction. If your electrode potential gets down below the  
6 hydrogen electrode potential, then you have a higher  
7 evolution on the metal side, on the metal surfaces.

8           In addition, on the n-type oxides, excited holes in  
9 the valence band of the oxide are now capable of oxidizing  
10 the water molecule to produce oxygen gas on the n-type oxide  
11 surfaces. So, this oxygen evolution may be coupled with the  
12 hydrogen evolution on the metal side. So, you have oxygen,  
13 hydrogen, local cell, oxygen evolution on the oxide surface  
14 and the hydrogen evolution on the metal side. This type of  
15 local cell gives us a possibility of hydrogen damage in the  
16 metal electrodes.

17           This gives us the conclusion, p-type oxide may  
18 cause the passivity breakdown leading to a localized mode of  
19 corrosion. N-type oxide inhibits the passivity breakdown  
20 though increasing the probability of hydrogen damage. In  
21 order to prevent the p-type oxide induced passivity  
22 breakdown, the coating of n-type oxide layers on the metal  
23 surface will be effective.

24           Now, the suggestion I have made in this

1 presentation is based only on the thermodynamic estimation at  
2 the present time, but any direct experimental evidence except  
3 that n-type titanium oxide was found to inhibit the metallic  
4 corrosion in a number of cases.

5           Thank you.

6           BULLEN: Thank you very much, Dr. Sato.

7           I have a little apology to the audience, but we're  
8 going to finish with Dr. Pickering's presentation. His  
9 transparencies are being duplicated as we speak, but he does  
10 have a duplicate of his conclusion slide. So, he has agreed  
11 to go ahead and speak before lunch and we'll give him the  
12 option of first refusal after lunch if he wants to follow up  
13 on his presentation.

14           Dr. Pickering?

15           PICKERING: Well, I have this duplicate of kind of a  
16 summary outline, so to speak. And, what I will focus on is  
17 the crevice corrosion, #2, here; crevice corrosion rather  
18 than passive film breakdown and pitting which you've heard a  
19 good bit about already. I'll look at two things that I think  
20 are questions I would want to know about Alloy-22. And, mind  
21 you, these are now questions that pertain to the conditions  
22 inside the crevice, not the conditions outside the crevice  
23 that we've been talking about. I'd like to know, too, what  
24 the repassivation potential is, but I'm with the

1 understanding of what the repassivation potential is, but  
2 right now, I'm going to talk about the conditions that we've  
3 measured and so forth inside the crevice and how they lead to  
4 criteria to susceptibility of a particular crevice in a  
5 particular metal electrode system.

6           And, there are two things that I want to say then  
7 about that, as far as characterizations, that I would want to  
8 know about. The potential distribution on the crevice wall,  
9 that is the electropotential, how it varies and how big the  
10 variation is as you go into the crevice? That's this on the  
11 left here. The potential is here at the outer surface. It  
12 could be applied potential or the actual corrosion potential.  
13 Then, as you go into the crevice in this direction, you find  
14 that the potential goes negative. And, the question is how  
15 much of the polarization curve do you have on the crevice  
16 wall? That depends on how big the IR drop is that is  
17 generated by the current from the inside of the crevice  
18 flowing through the electrolyte to the outside cathodic site  
19 or to a counter electrode if you're using a polarization  
20 technique. So, that's one question. How big is this  
21 potential drop under passive conditions on Alloy-22 in a  
22 given size crevice?

23           Okay. And, the other question is that alone will  
24 not produce crevice corrosion, but if you add the second

1 condition, does the possibility exist that the passive  
2 condition shown here at times zero, just a straight passive,  
3 whatever it is for Alloy-22--10 to minus 8 amps per square  
4 centimeter, I've been told and we heard about that this  
5 morning, too--does the possibility exist as stagnation occurs  
6 in the crevice for an active peak to form at the lower  
7 potential region? And, if it does, then we know from those  
8 studies now--I don't have these documentations with me, but  
9 maybe this afternoon, I'll have them--that that peak can grow  
10 in some other systems like nickel and stainless steel, that  
11 peak can grow with time if the right buildup of concentration  
12 in the crevice occurs. And, when it reaches this criteria  
13 here where the IR drop is greater than this defined quantity  
14 right here of the voltage drop between the applied potential  
15 or the corrosion potential at the outer surface and the  
16 passivation--what I call the passivation potential, reactive  
17 passive potential of the system, that's when then crevice  
18 corrosion would start and that would be at the end of the  
19 induction period. That is a little bit beyond what we've  
20 done experimentally, this last statement about, but we have  
21 seen passive films grow in crevices, get larger, and kick off  
22 the crevice corrosion process.

23           So, as a result of criteria that evolves out of  
24 that--and this is essentially the criteria--the IR drop

1 generated in the crevice, be it due to a passive condition or  
2 an active peak already in the system, we've studied mostly  
3 the active passive alloy electrolyte systems and we are  
4 starting now to study these (inaudible) passive systems, as  
5 well, like Alloy-22 is. But, that's for later.

6           Now, the next point to comment on is how big can  
7 this IR be in, say, Alloy-22? There are two factors I want  
8 to point out as I see are important. There are several  
9 factors that go into how big this IR drop is. I won't  
10 mention them all, but the one I want to comment on here is  
11 what's the size of the opening? And, we know we have to have  
12 a tight crevice to get crevice corrosion in all these  
13 corrosion-resistant alloys. So, that size opening, the  
14 generality is that the tighter it is, the bigger the IR drop  
15 will be. And so, how big can it be?

16           Well, these are two factors here that I would bring  
17 up. You certainly have the situation where one surface might  
18 be very smooth, but the other surface forming the crevice is  
19 rough. And so, the roughness determines the average opening  
20 of that crevice. The other case--and a big question for  
21 Alloy-22--is does hydrogen evolution occur inside the crevice  
22 because, if it does, then you form hydrogen bubbles. And, a  
23 bubble has the unique property, of course, of filling the  
24 space. So, now, we ask, well, what's the space between the

1 bubble and the wall? Of course, you might say is it  
2 molecular dimensions? So, you what you can have actually  
3 when you have crevice--and we've seen this and I'll you some  
4 later this afternoon maybe. When we have relatively large  
5 openings, we still end up with a gap opening between the  
6 bubble and the wall which is very small and we can't measure  
7 conditions in there. But, we see crevice corrosion occurring  
8 in the center of the bubble on that passive wall.

9           So, that's where I'll stop and, as I say, we can  
10 kind of show you examples of all three of these things; of  
11 potential drop here; of the buildup with time as the  
12 acidification occurs or whatever; and, also, a lot of gas  
13 bubbles forming in, say, stainless less, not so many in  
14 nickel. That's interesting, isn't it, from a point of view  
15 of Alloy-22.

16       BULLEN: Thank you, Dr. Pickering. I guess we did find  
17 out how to limit the speakers to five minutes. We just take  
18 away their slides and it will get done.

19           Right now, I would like to recess the meeting for  
20 an hour and 15 minutes. We will reconvene at 2:00 o'clock  
21 and Dr. Pickering has first right of refusal.

22           Thank you very much.

23           (Whereupon, a luncheon recess was taken.)

24

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

A F T E R N O O N S E S S I O N

16

BULLEN: We are going to digress a little bit from  
17 the written agenda. We have had one of our distinguished  
18 materials scientists who is interested was interested in  
19 making a comment, but cannot stay until the 5 o'clock hour.  
20 And, as such, we're going to allow him the microphone.

21

So Roger Staehle, who is working his way to the  
22 front of the room, would like to make a few comments for the  
23 benefit of the workshop panel. And, with that, I give you  
24 Roger. Keep it to less than three hours. Is that okay,

1 Roger? How about ten minutes, just like everybody else?

2 Thank you, Roger.

3 STAEHLE: That's pretty restrictive. This will just  
4 take about five minutes.

5 I first discussed this meeting with Alberto maybe a  
6 month or two ago when he had suggested the idea of bringing a  
7 group together to look very carefully and thoughtfully at  
8 what innovative ideas there might be in developing loss of  
9 passive films. And my concern then is more now that one of  
10 the things we know about passivity is that it's very  
11 environmentally dependent, and so what the passivity is in a  
12 lead solution isn't the same as passivity in a sulfur  
13 solution, is not the same passivity, and so on and so on.

14 And zirconium, which is very good in some  
15 environments, when you add fluorine to it, it's not. And so  
16 the first point I want to make is that the passivity, the  
17 protective quality of the film is very environmentally  
18 dependent, which is something most of you know certainly.

19 But the second point I want to make is that the  
20 chemical situation on the metal surface is an absolutely  
21 unbounded chemical situation. And what you have to realize  
22 here is that the unboundability is related to the fact that  
23 you have a super-heated surface. And in nuclear steam  
24 generators, the super-heat, even in a very controlled bulk

1 environment, produces environments locally which are  
2 virtually unboundable. And that's for a very controlled  
3 external environment.

4           Now, in this situation where the external  
5 environment is not controlled, but we don't know what's going  
6 to drip out of the mountain, except some part of the periodic  
7 table, and where we don't know what the composition of the  
8 deposits is on the fractures, which is quite different from  
9 the average composition, that means that the chemical  
10 composition on the surface will be an absolutely unbounded  
11 condition. And, so to make a prediction based on an  
12 unbounded environment is an impossible problem.

13           Now, the third point I want to make is that  
14 virtually all the work that has been done so far has been  
15 done in the general range less than 100 degrees Centigrade,  
16 like 95 Centigrade, or thereabouts. I think it was mentioned  
17 this morning possibly looking at 160 centigrade on the  
18 surface.

19           But let me back off a little bit and say that a lot  
20 of the low temperatures that people are thinking about today  
21 is based on the assumption that ventilation will be used. In  
22 fact, I think the assumption that ventilation is going to be  
23 used may be a very bad assumption, because the idea of  
24 ventilation means that if there's a leak, it will spread

1 whatever the leak is around the countryside, and the chance  
2 of anybody putting up with spreading the results of a leak  
3 around the countryside I think is zero.

4           And so I think the possibility of using ventilation  
5 for a variety of reasons, not the least of which is lowering  
6 the temperature and lowering the humidity, is a very strained  
7 assumption. Therefore, the surface temperature will be at  
8 least 160 centigrade, and more, and that means the super-heat  
9 in the concentration process, and the environments that are  
10 there will be soupy saturated--this is soupy, not super--  
11 soupy saturated environments of undefined compositions. And,  
12 therefore, to conduct experiments in that kind of  
13 environment, or in something like that, seems to me a very  
14 difficult challenge.

15           And then on top of that, in this 160 centigrade  
16 plus range, the concept of modes of corrosion changes. Up to  
17 this point, as Gustavo mentioned this morning, and others  
18 have, that they're primarily thinking about pitting. In  
19 fact, in this range, I don't think pitting is an issue. I  
20 think we're looking at either major generalized corrosion, or  
21 extensive stress corrosion cracking. And I think the  
22 stresses will come from a lot of places. I think the idea  
23 that they can be eliminated or lowered is just a fantasy.

24           So, those are my concerns about making predictions,

1 and sort of from the perspective of thinking about passivity,  
2 it seems to me the central question in making predictions is  
3 not to detail passivity, but rather how do we come to grips  
4 with an unboundable environment.

5 BULLEN: Thank you, Dr. Staehle.

6 Actually, before you leave, I have a question for  
7 you. One of the issues that the Board has raised is that  
8 cooler and drier and simpler might be better. Not regarding  
9 ventilation as the mechanism that you get cooler, would you  
10 agree that a cooler repository would be better or maybe  
11 easier to bound or to calculate?

12 STAEHLE: Well, I'd have to separate this question,  
13 because cooler and drier is better. But the question is  
14 whether cooler and drier is achievable.

15 BULLEN: Okay. Well, actually, let's start with the  
16 first part. If it is achievable, is it better?

17 STAEHLE: Well, any time you can lower the temperature,  
18 and the corrosion process in general, that's a good thing.  
19 So that's a good step. And if you can make it very dry and  
20 cool, that's a good thing.

21 BULLEN: But the concern is not to be able--if it gets  
22 cool, it may not be dry, is the comment you're going to  
23 follow up with?

24 STAEHLE: Well, you know, I have a hard time

1 understanding how a person could achieve coolness in a  
2 situation where you have a super-heated possibility, because  
3 what's going to happen is you will very quickly start putting  
4 dust on the surface, and that dust will create an insulating  
5 layer, which will immediately lead you to a super-heated  
6 condition. And I was in that tunnel a couple months ago, and  
7 just my note pad ended up with a bunch of dust on the top of  
8 it, a couple microns of dust probably. So I think that the  
9 conceptual framework which is interesting has to be very  
10 carefully thought out in terms of whether it's achievable.

11 BULLEN: Thank you, Roger.

12 As Chairman's prerogative, I'm going to give, maybe  
13 with a little trepidation, Professor Pickering the  
14 opportunity to do an encore presentation, which he tells me  
15 is not 50 minutes. So we will let him have his viewgraphs  
16 and present--how about ten, is that okay? Ten minutes?

17 PICKERING: I could easily do it in ten. Okay, so I'll  
18 build on this dust, and consider those dust particles the  
19 start of a crevice, because I don't think there will be  
20 crevices deliberately built into the system.

21 So, if we have crevices, then just to illustrate  
22 quickly three things that I mentioned earlier, the  
23 distribution of the electropotential along the wall of the  
24 crevice, and if it falls--this is for the bigger peak I

1 showed you here. If it's a smaller peak that you're dealing  
2 with, then this would be much more gradual, and it won't fall  
3 below the passivation potential and, ergo, you don't get  
4 crevice corrosion until that peak gets bigger to this point.

5           So, this line here is for the--by the way, the  
6 viewgraphs are a little bit--or your hard copy is a little  
7 bit mixed up. But the top viewgraph goes at the bottom.  
8 I'll get to that last, and they're mostly in order after  
9 that.

10           Okay, then I'll show you this process taking place,  
11 and I'll show you the effects of this gas, and then I'll make  
12 a calculation to see how big the IR drop is.

13           Here you have the results, and this is typical now.  
14 These are stainless steel actually in an acid chloride  
15 solution, which is a spontaneously active system, meaning it  
16 has an active and a passive region. And you can see at the  
17 beginning here, in both cases at the time, this is different  
18 times here, the profile of the potential distribution going  
19 into the crevice here is steeper as time goes on, because the  
20 current, you measure the current increasing. So the  
21 crevicing current is going up, so the IR drop per unit is  
22 going up. So at the end of the experiment here, the red  
23 curve, you can see the position.

24           Now, here's the active/passive transition measured

1 on the crevice wall, the potential, and that means that the  
2 position of the passive region is going to be closer to the  
3 opening than that, and the position of the active region on  
4 that crevice wall is to your right of that, and the biggest  
5 penetration, corrosion penetration, is going to be where the  
6 peak currents are, which would be right to the right of this  
7 3 millimeters.

8           We obtain these data by simply putting a microprobe  
9 into a relatively open crevice of .1 or .2 millimeters, which  
10 you can do for this duplex stainless. Here's just an example  
11 then of afterwards, a cross-section, and you can see that 3  
12 millimeters down is where you get the attack. Okay? Just as  
13 you would expect, and as are indicated from the potential  
14 measurements.

15           Well, if we didn't have a lot of chloride in there,  
16 we'd have an all passive condition, like we do in Alloy 22.  
17 This is just sulfuric acid of two concentrations, A and B,  
18 and you can see there's no active peak whatsoever. It's a  
19 spontaneously passive system. If you add the chloride to the  
20 system, then you get the buildup of the passive peak, and the  
21 A curve is the lowest chloride concentration, the next  
22 highest, and finally the one that we used there to get the  
23 data I just showed you.

24           Now, when you use this active/passive situation

1 with this chloride concentration, you get instantaneous  
2 crevice corrosion as soon as you polarize into the passive  
3 region for the conditions we used there, because that IR drop  
4 was larger right from time zero than the  $\Delta\phi^*$  value  
5 I showed you earlier is a criterion.

6           So that's the sort of thing with the buildup then.  
7 After you have the potential drop, you need to get the  
8 active peak to form. And you need to now also know how to  
9 measure the chloride concentration in the cavity. I'll just  
10 show you these data. These are the only data, and I'm just  
11 pointing out the blue curve here, because the red curve is  
12 actually the potential distribution as measured for now.  
13 This is iron in a pH 5 solution. It's an active/passive  
14 system. But the blue curve is--and these are the only data  
15 of the blue curve that are not--they're our new data and I  
16 didn't even want to present them on hard copy because I don't  
17 know if they're right. You know, they've haven't been  
18 reproduced.

19           But it looks like they're going to have a peak  
20 chloride concentration an order of magnitude higher--these  
21 numbers have to be reproduced also--an order of magnitude  
22 higher than the region where the metal dissolution rate is  
23 the highest. That's where the X pass position is, and the  
24 active peak is right here. And so you're seeing that the

1 measured, using again a microprobe now for chloride going  
2 into the crevice, it's maximized there and it falls off to  
3 some value that's just a little bit higher than the bulk  
4 solution of 2 millimolar concentration.

5           Now, here is some data--all the rest of this data,  
6 this appeared ten years ago on the Electrochemistry Society,  
7 and it just shows now a passive situation where it has a  
8 small active peak in this system. It's iron in the pH 10  
9 solution. A small active peak, but the IR drop wasn't big  
10 enough to push the electropotential down into the peak. So  
11 you didn't see anything but a passive current at time equals  
12 zero, and it's about  $10^{-6}$  amps per square  
13 centimeter here read on this axis here. We have it in  
14 milliamps here, so it's  $10^{-3}$  on milliamps. But  
15  $10^{-6}$ , and for this relatively open crevice, the  
16 IR drop is pretty small. Like I said before, you have to  
17 have a tight--or if you tighten the crevice up, the IR gets  
18 much bigger for the given current that's flowing.

19           And so the applied potential was this dash line,  
20 200 millivolts on this scale, and the measured potential  
21 halfway into the crevice now, that's what we're measuring on  
22 this axis, is only 25 millivolts below the outer surface  
23 potential. But notice what happens with time. Up to 14  
24 hours, the passive current is gradually increasing, and of

1 course then the IR drop is increasing, and you'll see the  
2 measured current halfway in coming down.

3           At about 14 hours, suddenly, the current increases  
4 quite steeply, and we're getting up into the milliamp current  
5 range now, or the actual crevice corrosion. The potential  
6 drops way low. I didn't show you where the passive age  
7 potential is. It's right in here somewhere. It drops way  
8 below into the--below that boundary into the active peak  
9 region. And, of course, you have stable crevice corrosion  
10 indicated by the potential, and indicated by these high  
11 currents. So, there it took 14 hours to do that, and the  
12 reason for that we don't know, because we didn't have the  
13 chloride and pH that we do now, so we don't know what was  
14 causing the passive current here to increase with time. It  
15 might had been a pH decrease, or something of that sort.

16           And then the gas bubbles is the third item I told  
17 you I'd show you about. Here's a gas bubble, hydrogen gas  
18 bubble, formed in an iron crevice wall. By the way, we're  
19 looking through transparent plexiglass. And while we're  
20 doing these in situ probe measurements, we also monitor the  
21 appearance of the crevice surface with some necrolenses and a  
22 camera, and so forth. And then in this case, the wall was  
23 all passive in this region, but there was a hydrogen gas  
24 bubble that had formed there and lodged in place.

1           And knowledge you have after some time is very  
2 strong crevice corrosion at the middle part of the bubble.  
3 What you see here is grain boundary effect, which we also saw  
4 on the polarization curve when we did experiments at  
5 different potentials, getting close to the active peak. And  
6 here you see it blown up. You can see as you go in, you get  
7 slight intergranular effect. As the potential drops closer  
8 to the active peak, you get heavier intergranular effect, and  
9 then you have a boundary here where now you're in the active  
10 peak and you get an attrition.

11           So, that's the importance of the bubble, and that's  
12 why, you know, we would like to know whether hydrogen gas  
13 bubbles can form. Dynamically, they can form of course in  
14 any base metal, so also in C-22. We don't know, though,  
15 whether they form in there.

16           And the final question was how big of an IR might  
17 you get if you had really a low passive current, like C-22  
18 has, and so I just made--I tried to make a calculation here  
19 using numbers we knew about. This is for one of our nickel  
20 systems. We had a pH 2 solution which was saturated with  
21 nickel sulfate in the crevice. And that has a measured  
22 resistivity of 23 ohms per centimeter, which is not a real  
23 high resistivity. You can get much higher resistivities in  
24 solutions that are more dilute, and so forth.

1           And we then had the relationship, a simple  
2 relationship where the IR drop, or the delta phi here to the  
3 bottom of the crevice, going from here to the bottom, is  
4 going to be just the average current flowing out of the  
5 crevice--I assume the average current. I assume the current  
6 was linear going, with increasing depth in, just to make a  
7 calculation, we're seeing results of the average value, and  
8 multiply that by the resistivity, times the depth, L, which  
9 we assume to be just 1 centimeter, and the cross-sectional  
10 area here of the opening, and that's A times W, divided by A  
11 times W, and you see that here.

12           So, that's just IR, of course, where R is L over  
13 AW. And so now we assume that 10 to the minus 8 amps per  
14 square centimeter of passive current on that wall, and there  
15 we chose not molecular dimensions. If we had gas in there, I  
16 don't know how big the crevice would be, but it wouldn't be  
17 very big. We took an order of magnitude higher than that, 10  
18 to the minus 6 centimeters, and we end up calculating, if you  
19 plug the numbers in then into this equation right here, you  
20 end up calculating 230 millivolts, so a sizeable potential  
21 drop. You can't really rule it out just because you have 10  
22 to the minus 8 amps per square centimeter.

23           So, I'll stop there.

24           BULLEN: Thank you, Dr. Pickering.

1 PICKERING: You're welcome.

2 BULLEN: Actually, I'm going to ask Professor Sagüés if  
3 he's going to help me out.

4 In your presentation this morning, you had a  
5 viewgraph of the first question. Could you dig that out?

6 SAGÜÉS: I don't have it. I have a summary of the  
7 question.

8 BULLEN: The summary is fine. I just wanted a talking  
9 point to put up there. And then as we dictate the procedure  
10 for the roundtable discussion that's going to occur this  
11 afternoon, I thought maybe we could start off by just asking  
12 each individual as we go around the table to make a few  
13 comments about what they've heard, what they haven't heard,  
14 but specific to question one. And I was trying to decide  
15 which side of the table to start with, and Dr. Davenport on  
16 the way in said she'd solved all the problems over lunch.  
17 So, obviously, we have to start over there, but I can't start  
18 with her, because she's not in the first position.

19 So, Dr. Kruger, because Dr. Davenport has already  
20 solved these problems, gets to actually take the first shot  
21 at question number one, which essentially deals with  
22 mechanisms--well, let me read the question specifically from  
23 the handout.

24 Question one basically states that can you propose

1 any plausible mechanisms that would cause a long-term  
2 corrosion rate to increase once penetration under passive  
3 conditions reaches significant values, so that sustained  
4 corrosion rates may be no longer uniform, extend sort of  
5 greater than a micrometer per year?

6           And so specifically to that, we'd like to ask you  
7 to just say a few sentences, maybe a few words about what you  
8 learned this morning, if you think there are mechanisms that  
9 exist, if so, what? If you don't think they exist, that's  
10 fine, too.

11           So, we'll start with Dr. Kruger and just work our  
12 way around the table. That's a good way to start.

13           KRUGER: Well, since Alison has already solved all these  
14 problems--

15           BULLEN: That never seemed to stop you before, though.

16           KRUGER: Right, and it won't this time. But I was  
17 tempted.

18           Well, I think the thing that I heard, not this  
19 morning, but this afternoon, the things that Roger Staehle  
20 said is to me the most significant thing that you can say  
21 about question one. And that is that under the conditions  
22 that exist, you would really expect an increase in the  
23 passive current. Plus the fact that, and a number of people  
24 mentioned this, if the potential goes to the transpassive

1 region, you dissolve a lot of the constituents of the passive  
2 film creating an unstable condition, and a large increase in  
3 the passive current density.

4           So, I'm not as sanguine as I was when I first came  
5 here that at least from a uniform corrosion standpoint, we  
6 really wouldn't expect any problems. I think we could expect  
7 some serious problems.

8           BULLEN: Bullen, Board. Actually, I'll follow up with  
9 the same kind of question that I asked Roger with respect to  
10 temperature dependencies of what you see, if you stayed away  
11 from the 160 degrees C. temperature regime, for example,  
12 would you find more confidence or less confidence in your  
13 expected performance for the long-term stability of the  
14 passive film?

15          KRUGER: You mean you were able to keep the temperature  
16 below 160?

17          BULLEN: Yes. Well, we saw two curves this morning that  
18 one was like kind of 80 degrees, 90 degrees C. maximum  
19 temperature. Do you have a little more confidence in that?

20          KRUGER: Yes, you would. But even under those  
21 circumstances, with the environment changing in very many  
22 possible ways, even at the lower temperatures, you could  
23 expect especially localized corrosion problems to exist even  
24 at those lower temperatures, which we have little experience

1 with as well.

2 BULLEN: Thank you. Any other comments you'd like to  
3 make, or do you want to pass the baton to Alison next to you?  
4 You yield your three minutes?

5 KRUGER: Yes, I yield my three minutes to the lady from  
6 Birmingham.

7 BULLEN: Dr. Davenport?

8 DAVENPORT: I had a very interesting conversation with  
9 Gustavo Cragolino over lunch, and this very much reinforced  
10 my view of the importance of metallurgical features, and in  
11 particular, what can happen along weld lines with thousands  
12 of meters of weld. It's not inconceivable that some of it  
13 may not be done perhaps as well as it could be, things may go  
14 wrong with the heat treatment somewhere, and I'm very much  
15 convinced that that is the most likely source of problems in  
16 terms of both local increase in passive behavior, and also in  
17 the risk of localized corrosion. But I think Gustavo can  
18 probably give more details about what the particular problems  
19 might be around welds. But I'm very firmly convinced that  
20 that's quite important.

21 Another couple of things following up on that that  
22 come to mind, and that is when people are doing measurements  
23 on pitting corrosion, any kind of measurements, and you have  
24 a hundred results and you look at the range, the spread,

1 including some negative corrosion rates, or whatever that  
2 appears to be on that, I think the interesting ones are the  
3 outliers where there are particularly high corrosion rates.  
4 And this again follows up with my interest in metallurgical  
5 features. When there are outliers, is it worth taking a much  
6 more careful forensic look at the ones that seem to have  
7 corroded particularly strongly? Are there some features in  
8 the alloy, common or less common faults or defects or  
9 impurities in the alloy that can give sites where there's  
10 localized attack?

11           Again, we come to a size issue, and is a corrosion  
12 coupon of very limited size a very good analog for the  
13 canister itself? Metallurgically, they receive very  
14 different treatments. And also you're sampling a much larger  
15 area, and so rare defects can then come on and become a  
16 problem. So those are the features that I think have struck  
17 me going through today's proceedings, including lunch.

18           BULLEN: Bullen, Board. I actually had a couple of  
19 follow on questions that I had written down during the course  
20 of your presentation.

21           You mentioned that, you know, as a metallurgist and  
22 as a corrosion scientist, you try to prepare those perfect  
23 surfaces of single crystals, and then understand the  
24 fundamental mechanisms. How difficult do you perceive the

1 ability to model the heterogeneities, to model the real  
2 world, to model the defects that you'd expect to see? And is  
3 it a realistic assertion that that can be done? Or is it an  
4 intractable type problem?

5         DAVENPORT: I'm not quite sure what you mean by model.  
6 I mean, I would say that the first thing to do is to actually  
7 have a look at the failures and see if we can identify  
8 particular problems. I mean, we're all very well familiar  
9 with the fact that pits in stainless steel initiate in  
10 manganese sulfide inclusions, but we don't have the same sort  
11 of common knowledge that, oh, failures always initiate at  
12 whatever kind of a particular in this particular case. So, I  
13 think a bit of forensics is needed first if we can go on to  
14 model anything.

15                 I must say the other thing that very much struck me  
16 was actually in Bob Rapp's presentation when he talked about  
17 the importance of surface finish. And, again, the idea of  
18 electropolishing all these canisters is quite an interesting  
19 but probably rather impractical one. But there's an enormous  
20 effect of surface finish on corrosion behavior, because if  
21 you have a very rough machined surface, you've got deformed  
22 layers and bits where the metal is folded over on itself, and  
23 you've got automatic little crevices on the surface, not just  
24 with dust as well, so I think that's a very important

1 feature, too.

2           BULLEN: Thank you. Actually, my emphasis in modelling  
3 stems from the fact that I'm a performance assessment  
4 modeler, so I was thinking extrapolation beyond 10,000 years  
5 and how well you do it, not the lab scale models, although  
6 those are the fundamental mechanistic models that we'd like  
7 to understand.

8           Anyway, thank you very much. You had a good intro  
9 for Dr. Rapp. Dr. Rapp, would you like to say a few words?  
10 Or do you just want to say ditto?

11          RAPP: It's a lot more complicated than that. This  
12 matter of surface finish I do think is important, and I don't  
13 know why these canisters can't be polished up before they are  
14 loaded up, you know. They don't--loading them up shouldn't  
15 make that much difference to the surface finish. So I think  
16 it could be done. I don't know why not.

17          KRUGER: They don't have to be electropolished. There's  
18 chemical polish.

19          RAPP: Chemical polish. And, in fact, I think you could  
20 dope up the surface with some cerium while you're at it. An  
21 anodic oxide on the surface with a little cerium doped in  
22 would be a nice idea.

23                 Other than that, it seems to me like the most  
24 dangerous part of this service is the deposition and drying,

1 and deposition--wetting and drying, and wetting a drying,  
2 which concentrates the salts. That's the critical thing.  
3 And if you do permit ventilation on occasion, you might use  
4 it as an engineering variable. You might let the stuff get  
5 hot, as long as it's not going to have any deposition to keep  
6 the water away from it until, by some monitoring system, you  
7 see that that period is over with. Then you might cool it  
8 down and let the water deposit on it, but not cycle  
9 evaporation deposition. Just either have it hot or else have  
10 it cooler, and you could use your ventilation system as the  
11 engineering variable to do that. I'm just dreaming here, of  
12 course.

13           But the other thing is, as was mentioned, no matter  
14 how this would be started out, it would be growing a little  
15 minor air formed product scale in dry oxidation at the very  
16 start, and I think that should be taken seriously, and  
17 experiments should use something like that, or simulated  
18 scale, as the initial condition for electrochemical aqueous  
19 experimentation.

20           And as Susan said, and I thought about anyway from  
21 my own experience, there's a big difference between  
22 atmospheric corrosion in an aerated film and deep solution in  
23 a vat of aqueous solution. And as I have heard, experiments  
24 are not being done in the atmospheric mode today, but they

1 certainly should be.

2           BULLEN: Thank you. Professor Craig, did you want to  
3 make a comment, or do you want to just listen for a while and  
4 go around the table? Okay. Dr. Newman?

5           NEWMAN: Well, I don't have any particular qualms about  
6 the 90 degrees, or whatever it was, the lower of the two  
7 temperatures that we discussed. I don't think this stuff is  
8 suddenly going to start corroding generally, although I  
9 definitely hear what Roger Staehle says about the deposition  
10 and the evaporation issue. And I think 160 is kind of the  
11 minimum temperature where I would really start to be  
12 concerned about that.

13                   So if somebody says, well, these things are not  
14 going to be ventilated and the temperature is going to go up  
15 to 220, I'm still a little bit puzzled as to what Roger  
16 thinks is the uniform corrosion mechanism that can operate  
17 there. But definitely in terms of promoting various kinds of  
18 localized corrosion, that then becomes a rather different  
19 kettle of fish then.

20                   You know, quite clearly, if you have some  
21 conditions that persistently generate a highly alkaline  
22 environment full of peroxide from radiolysis, then you're  
23 going to corrode stuff at a significant rate. You know,  
24 whether it's a micron a year or ten microns a year, I don't

1 know. But I think those mechanisms, I would say 150 or 160  
2 is the threshold for what I would call a steam generator heat  
3 transfer mechanisms to really start switching on.

4           And you do see all kinds of stuff. I mean, just  
5 the other day, I was at a lab where they were using a new  
6 surface analytical tool to look at some alloys that have been  
7 exposed to these kinds of environments, and they were finding  
8 all kinds of stuff in the grain boundaries down to quite  
9 large depths, 100 microns, or so, lead, that kind of thing.  
10 And those mechanisms seem to be specific to these  
11 concentrated, I would going to say alkaline environments,  
12 maybe Roger can correct me here, but probably alkaline  
13 environments at temperatures in the 200 range and above. You  
14 can certainly get a lot of things happening to these nickel  
15 alloys that I wouldn't particularly want to be--I wouldn't  
16 particularly want to be associated with predicting that they  
17 were going to last for 10,000 years under those conditions.

18           BULLEN: Bullen, Board. Actually, you led into  
19 something that I was going to ask a little later. But  
20 Alberto mentioned this morning that the minor constituents in  
21 the groundwater, such as lead, or maybe mercury, or arsenic,  
22 or some of the other bad actors, could play a role in the  
23 passive film stability. And so I guess what I'd be  
24 interested in is maybe your interpretation of the importance

1 of that role, and whether or not you would see it as more  
2 significant in a hot 160 to 200 degrees--

3       NEWMAN: Well, definitely the lead.

4       BULLEN: --versus the 60 to 80? Yeah, could you comment  
5 a little bit on that?

6       NEWMAN: The lead phenomenon, I mean it can be  
7 demonstrated at temperatures like 100 if you use the right  
8 kind of hydrochloric acid, and so forth. But as something  
9 that destroys materials, I'm not aware of any reports at  
10 temperatures, you know, in the 100's. But then on the other  
11 hand, the time factor always has to be taken into  
12 consideration.

13       STAEHLE: There's a lot of work on lead, as you probably  
14 know, up to about 300 centigrade.

15       NEWMAN: Yeah.

16       STAEHLE: Killian's work and Wong's work, it's pretty  
17 extensive. And the one thing that's of interest in the lead  
18 in a way is, you know, lead forms a lot of insoluble  
19 compounds. These compounds turn out to be very temperature  
20 dependent in terms of their solubility. And so you could  
21 have a compound which is quite stable at 100 centigrade, and  
22 at 200 centigrade, it's totally soluble. And so there's that  
23 kind of thing going on, without belaboring it.

24       NEWMAN: My concern would be intergranular corrosion. I

1 guess if I have to summarize, if the conditions are what  
2 Roger says they're going to be, and they're going to close it  
3 up and forget about it, the temperature is going to go up to  
4 200 and something degrees, I think one could have localized  
5 corrosion of the pitting type, but I think what Roger calls  
6 general corrosion, I think it would be more likely what you  
7 would get is this intergranular attack, or intergranular  
8 corrosion, and I would be concerned about that at a high  
9 temperature.

10       STAEHLE: Well, just to continue a point, we all work on  
11 different kinds of consulting problems here and there, and  
12 I'm working on a problem at the moment, a thing in Venezuela  
13 where the temperature is around 250 centigrade in a potassium  
14 carbonate heat transfer crevice. So, potassium carbonate is  
15 filling up in the crevice. It's corroding generally like  
16 made in this heat transfer crevice.

17       NEWMAN: The material being?

18       STAEHLE: Stainless.

19       NEWMAN: Stainless steel.

20       STAEHLE: So, you know, I'm not so sure the detail of  
21 the mechanism, but there's no question about what's  
22 happening.

23       NEWMAN: Well, you can get high corrosion rates in  
24 carbonate for well-known reasons, I think. I mean, it's a

1 complexant, so, I mean, you don't need the very high or very  
2 low pH. But, yeah, I agree that that's the sort of thing  
3 that could happen. Carbonate is something that I think is  
4 not so aggressive to nickel, so that's not something to be so  
5 bothered about. I mean, you say 200 degrees. I'll jump to  
6 the other side of the fence.

7 BULLEN: Okay, thank you. Actually, Rob, before you sit  
8 down, I have a request for you. We had some questions about  
9 the testing program and the experiments that were being done,  
10 and Professor Rapp basically asked about the high temperature  
11 oxidation. Could you address maybe just a little bit of some  
12 of the experimental program that's on. Is that a fair  
13 question to ask you, or do you want to defer to somebody  
14 else?

15 HOWARD: Rob Howard, Integration Manager for Bechtel  
16 SAIC. I would like Greg Gdowski, who is one of the PIs  
17 involved in our experimental program, to just clarify a few  
18 things about what the testing program involves. And we do do  
19 testing in humid air environments. It's not just vat  
20 solution.

21 BULLEN: Okay, thanks, Rob. Dr. Gdowski?

22 GDOWSKI: Greg Gdowski, Livermore.

23 A few things about the environment that are  
24 probably not apparent initially is that we are bounded by

1 atmospheric pressure. So you're not going to get super-  
2 heated steam there. You're not going to raise the  
3 environment about one atmospheric pressure.

4           The reason you can go to high temperatures with the  
5 aqueous solution is because of the forming of the saturated  
6 aqueous solutions with mag chloride.

7           NEWMAN: The temperature of water is higher?

8           GDOWSKI: Yes. I'm not denying that. Other concerns  
9 that we are testing atmospherically, we do have a series of  
10 tests to address atmospheric corrosion. We are doing  
11 periodic wet and dry type experiments under high relative  
12 humidity conditions, where we're dripping saturated aqueous  
13 solution salts on the specimens, letting them evaporate,  
14 trying to characterize those environments.

15           We've also done a series of evaporative  
16 concentration experiments where we evolve these brines to  
17 very high concentrations. We're not, as Carl put it, they  
18 were at much higher concentration aqueous brine solutions.  
19 We're not at the .05 molar solutions. We're in the molar  
20 solution range on these salts.

21           I guess that's about it, unless you have some other  
22 questions.

23           RAPP: With what observations then? What are your  
24 results?

1 BULLEN: Identify yourself, Professor Rapp, and ask.

2 RAPP: Rapp is asking what results have you observed  
3 then under these test conditions?

4 GDOWSKI: Which tests?

5 RAPP: Well, any of them. Choose one.

6 GDOWSKI: Choose one. I could talk mostly about the  
7 evaporative concentration experiments. What we have seen  
8 under the wet and dry dripping is primarily the formation of  
9 the scale on the surface, with very little oxidation of the  
10 underlying metal. We've done these tests at around 90 and  
11 100 degrees C. at this point.

12 Under the carbonate base waters, high silica, high  
13 carbonate, you form a very tenacious scale on these  
14 materials.

15 RAPP: As a deposit; right?

16 GDOWSKI: Yes, that's right, with very little indication  
17 of any corrosion underneath these deposits at this point.

18 NEWMAN: May I ask a question. This is Roger Newman.

19 Can somebody tell me what, given the constituents  
20 of the water, what is the highest temperature that you can  
21 conceive of maintaining a liquid environment on the surface?

22 GDOWSKI: It would have to be the magnesium chloride or  
23 the calcium chloride type brines. Calcium chloride boils at  
24 about 164 degrees C.

1           NEWMAN: Okay. Zinc chloride boils at a higher  
2 temperature than that. You don't have any zinc chloride.

3           GDOWSKI: Well, I mean, from the constituents at Yucca  
4 Mountain, from the groundwater constituents.

5           NEWMAN: Right.

6           STAEHLE: This bounding condition that Greg mentions of  
7 atmospheric pressure is certainly an important one. The  
8 question I was just asking him was whether or not in thinking  
9 about maximum temperature, you've got to think about some  
10 kind of a deposit build-up on the surface that has some  
11 dimensional substance to it, and maybe some capillary  
12 structure to it. And that may not change the temperature a  
13 lot, but it probably would be somewhat higher than 160.

14          GDOWSKI: Agreed. Agreed. It will raise it, but you  
15 have to, at these elevated temperatures, the size of the  
16 pores that you have to bring about a very large elevation in  
17 temperature are very, very small. You're talking sub-micron  
18 levels at these temperatures.

19          BULLEN: Thanks to both of you. I guess this maybe is a  
20 very good lead-in to the brine question that--oh, Alberto, do  
21 you want to say something?

22          SAGÜÉS: I have a couple of questions for Roger.

23          BULLEN: Go right ahead.

24          SAGÜÉS: Now, depending on what we get into, we may go

1 into this later with some of the other participants.

2 BULLEN: Okay, feel free.

3 SAGÜÉS: You made a very quick estimate, Roger, in  
4 assuming a certain chromium solubility, and from there, you  
5 went ahead to try to obtain a guesstimate of the corrosion  
6 rate. Now, I assume that in doing that, you must have  
7 assumed that you were at some kind of a pH in the system, and  
8 you looked at how much the chromium oxide line interfaced in  
9 the--shift in the equilibrium, something like that?

10 NEWMAN: It's something like that, yes. In fact, I was  
11 just pointing out that you could have very low equilibrium  
12 solubility of the stuff, and yet over a period of hundreds to  
13 thousands of years, build up a layer of porous oxide, which a  
14 lot of people would probably agree might have some effect on  
15 the stability of corrosion. I wasn't really picking a  
16 particular point, but I mean, if you want to equate that to a  
17 particular pH, it would probably be anywhere near neutral,  
18 you could probably have  $10^{-14}$  molar solubility  
19 of something like chrome.

20 SAGÜÉS: And, from there, how did you work it out into a  
21 rate of dissolution?

22 NEWMAN: Just Pick's law, yes, Pick's first law. I  
23 mean, it's just a factor of the envelope diffusion.

24 SAGÜÉS: So, do I understand then that what you are

1 suggesting with that kind of thinking, without making a very  
2 precise statement, of course, would be that that would be one  
3 way of having a non-conservative passive layer dissolution  
4 process at the passive layer solution interface.

5       NEWMAN: No, I don't associate that with some kind of  
6 accelerated general corrosion at all. I associate that  
7 membrane like layer with an increased probability of  
8 localized corrosion.

9       SAGÜÉS: Localized corrosion?

10       NEWMAN: So, over a long period of time, it seems  
11 reasonable to suggest that you would build up a thick, as to  
12 say microns thick, oxidized layer on the surface, which would  
13 be mainly a product of a re-precipitation process, simply  
14 arising from the passive current. And that that layer could  
15 promote a localized corrosion process.

16       SAGÜÉS: Okay, yeah, that I have followed. I guess  
17 another question, and this applies to you and then maybe as  
18 other members of the panel get through it, I think that one  
19 of the questions would be what is the thickest, maybe not the  
20 barrier layer, but the thickest passive debris layer that  
21 anyone may have seen anywhere that one can ascribe to a  
22 process like the processes we're talking about in here? Is  
23 there such a thing, or are we talking--what I'm trying to  
24 establish is are we talking about something that is totally,

1 absolutely fictional, or are there any examples--

2       NEWMAN: Science fiction.

3       SAGÜÉS: --that we can look at?

4       NEWMAN: Well, I think the problem was that most of the  
5 practical cases where those happen at ambient temperatures  
6 have been where you are on the borderline of the transpassive  
7 dissolution. I once had to deal with a problem where  
8 industrial dishwashers were going blue. They actually looked  
9 much nicer when they were blue than they did before. This  
10 turned out to be due to peroxide in the detergent materials  
11 causing a kind of transpassive dissolution on the material.  
12 All the material was dissolved and then redeposited and it  
13 gave this blue film.

14           I don't know of any example, if you like, in the  
15 middle of the passive region where anyone has seen a similar  
16 thing. The best chance to get something like that would  
17 probably be at high temperature where the process is faster,  
18 the passive dissolution process. But, I do know that in acid  
19 environments, of course, you can see something like that. If  
20 you were at pH 1 and you passivate stainless steel, then the  
21 passive current is higher so it doesn't take so long to build  
22 up such a layer, and you could perhaps learn something by  
23 artificially growing such layers at low pH or something like  
24 that.

1           In fact, you know, you can actually make stainless  
2 steel go blue by cycling the potential. There's lots of ways  
3 to make stainless steel go blue and you cycle between active  
4 and passive. So, you're producing this sort of very finely  
5 divided re-precipitated type of material. That certainly  
6 makes pitting much easier. I've seen in lab tests that when  
7 you have that deposit, that blue material on the surface, it  
8 always pits prematurely at very low potential.

9           SAGÜÉS: I would like to ask the remaining members of  
10 the panel when it is their turn, if they know of any blue  
11 stainless experience or sighting, and I would like to hear  
12 that and it certainly would be very instructive to have some  
13 blue C-22.

14          NEWMAN: Well, I can supply it in different colors.

15          BULLEN: Then, we don't have to polish the containers.  
16 We could just have different color containers.

17                 Go ahead, Professor Bertocci?

18          BERTOCCI: Is it then interference color?

19          NEWMAN: Yes, but it's always blue. So, it's something  
20 more than just--you know, you'd expect to get rainbow colors  
21 if it was--but it's definitely an interference effect, but  
22 sometimes you do see the rainbow colors. But, when you don't  
23 see the colors, it's always blue.

24          BULLEN: Gustavo, go ahead? Do you have a question?

1 CRAGNOLINO: Well, talking about colors, you produced  
2 this precisely for Alloy-22 when you go to the transpassive  
3 regime?

4 NEWMAN: It goes blue, yeah.

5 CRAGNOLINO: Goes to yellowish-blue type of color and  
6 this is associated with the transformation of the film under  
7 certain conditions, but we are talking a very high potential.  
8 So, I don't see that that's attainable by any means. You  
9 can obtain this potential in reprocessing units, but not in  
10 the condition of the repository.

11 NEWMAN: Well, I think, Alberto was just asking is it  
12 possible to speed it up so that you can do some experiments--  
13 was that the--

14 SMIALOWSKA: (Inaudible).

15 BULLEN: Please use your microphone, Susan.

16 STREHBLow: Could I give a comment on that?

17 BULLEN: Oh, Dr. Strehblow, go right ahead?

18 STREHBLow: Okay, sorry. If you have these interference  
19 colors, is it that you just dissolve the iron and you have  
20 the iron 2, and if you're back in the passive range, then you  
21 oxidize it to iron 3 oxide? I think that is the reaction  
22 which is occurring. So, if you by intention would like to  
23 have this layer, you also could add iron 2 salts to the  
24 solution, just oxidize it up and then at moderate pH it could

1 be, let's say, 6 or 7, so that the iron 2 is still soluble.  
2 Then, you get this nice film and then you can study it in  
3 detail what it is doing to localized corrosion.

4       NEWMAN: Well, if there's any iron in the water in this  
5 mountain, it will certainly oxidize onto the surface of the  
6 alloy and produce a layer like that anyway, as indeed could  
7 one or two other elements. Any corrosion process that you  
8 propose here is going to be occurring under a membrane-like  
9 layer of something. And, you know, I think these, in  
10 general, would be just as aggressive as physical crevices for  
11 the corrosion, but not necessarily very aggressive. It  
12 depends on the temperature and so on and so on. Anyway, I  
13 took too much time there.

14       BULLEN: Thank you. Bullen, Board. Professor  
15 Strehblow, did you want to make any comments about Question 1  
16 as we go around since we're returning to that?

17       STREHBLOW: Yeah, I just wanted to repeat also that--and  
18 support what the previous speakers have said--the higher  
19 concentration of the electrolyte is a very big danger and  
20 these wetting and drying periods which might concentrate the  
21 electrolyte. And this, in combination with a depletion of  
22 the chromium and the material by some wrong treatment,  
23 welding and whatever, you might also remember that you have  
24 chromium depletion at the grain boundaries for stainless

1 steel by chromium carbide precipitation. And, things of that  
2 kind which might happen and which could lead to a local  
3 depletion of chromium is a source of danger because then the  
4 passivation mechanism by chromium oxide formation could be  
5 hindered because there is not enough locally, not enough  
6 chromium oxide. As Carl De Bella said, we have huge surfaces  
7 which have to be treated. There could be a weak point where  
8 this might occur. This is the first remark I would like to  
9 make.

10           The second, we heard something by Bob Rapp about  
11 high temperature corrosion and I would like to add some  
12 little remark which I didn't include in my short presentation  
13 because I didn't want to overload it. But, there is existing  
14 the possibility that also chlorides and high temperature  
15 corrosion could give a big danger of film breakdown and  
16 corrosion if the temperature is sufficiently high. When you  
17 have, for instance, HCl oxygen mixtures at 700 Centigrade,  
18 then you easily will corrode the metals and also the nickel-  
19 based alloys. We did a couple of these studies in the past.  
20 This will break down the material with a high velocity.  
21 Now, we have lower temperatures. So, it might on the long-  
22 term, there might be some mechanism of this kind. You might  
23 not have the HCl, but you might have the chloride sitting on  
24 the surface as a little crystal and then something of a

1 similar kind may start and, as you have a long time, this may  
2 also cause some corrosion phenomenon in the dry at high  
3 temperature. This was the second remark.

4           And, the third remark was about radiolysis which  
5 somebody in the audience asked me or gave a remark at the end  
6 of the session and he told me that especially in the first  
7 time you have a danger of formation of high oxidants and  
8 electrolyte because then you have the high radiation. But,  
9 when it slows down, then this danger will be over. So, one  
10 has to discuss this in detail and there has been some work on  
11 it, as he said. I don't remember the name of the person.

12       BULLEN: Bullen, Board. Actually, with respect to the  
13 radiation field, and we started talking about point defect  
14 production, I wanted to sort of follow up on that. I know  
15 that a scientist named Rich Von Konynenburg at Lawrence  
16 Livermore National Laboratory had done in the late '80s an  
17 analysis of alpha, beta, gamma neutron damage, and,  
18 basically, same conclusions that were reached this morning.  
19 Alpha is not a problem because it's inside the waste package.  
20 The betas may or may not be a problem, but usually aren't  
21 significant. The gammas can cause some local ionization, but  
22 usually don't cause displacement damage. The only  
23 displacement damage you'd get would be from the neutrons.  
24 But, the conclusion from the Von Konynenburg paper is that

1 the neutron flux is so low compared to the similar flux that  
2 you have in a nuclear reactor that in the 10,000 year kind of  
3 time frame, you may end up with sort of the equivalent of one  
4 or two reactor days of equivalent operation or radiation  
5 damage. And so, the kinds of point defect production rates  
6 would be, you know, maybe 8 or 10 orders of magnitude less  
7 than what you'd see in a reactor.

8           So, you'd ask yourself, you know, even though I  
9 have a factor of 5 increase in time, I'm still a factor of  
10  $10^8$ --or excuse me, a factor of  $10^5$  increase in time, I have an  
11 effect of  $10^8$  decrease in rates. And so, is that going to be  
12 significant? I guess, I don't know the ins and outs of point  
13 defect production and its impact--maybe Digby could comment  
14 on this--its impact on the stability of the oxide films.  
15 But, I would venture to guess that the neutron damage would  
16 not be a real big precursor to those kinds of issues. And,  
17 maybe, I should defer to Digby about that.

18       MACDONALD: No, you're right. Neutron damage isn't  
19 significant. About the only way that you could have a  
20 deleterious effect is if something like hydrogen peroxide  
21 kept building up, but, of course, the hydrogen peroxide  
22 decomposition is catalyzed by transition metals. Okay? So,  
23 it's a little far-fetched to see a massive buildup in  
24 hydrogen peroxide.

1           Just to put this radiation situation in  
2 perspective, a number of years ago, we did some modeling work  
3 on copper canisters and, of course, the wall thickness of  
4 copper canisters, much, much greater than the wall thickness  
5 of the C-22. The conclusion then was that there might be a  
6 very small shift, positive shift, in the ECP corrosion  
7 potential due to radiolysis. Now, of course, with the  
8 thinner C-22 wall, I believe that the dose rate of the  
9 surface is now about 2400 rad per hour, okay, compared within  
10 a nuclear reactor of maybe 1000 times that. But,  
11 nevertheless, it may be significant and that issue possibly  
12 should be looked at again.

13         BULLEN: Professor Strehblow, did that answer your  
14 question with respect to radiation?

15         STREHBLOW: Yes.

16         BULLEN: Dr. Rapp?

17         RAPP: May I comment on one of your comments, please?  
18 Relative to something like chloride cracking an oxide at a  
19 hot temperature, there were very nice experiments by Peter  
20 Hancock a long time ago where he took a metal wire and  
21 vibrated it to its resonant frequency and then put a drop of  
22 sodium chloride on it and it immediately cracked, but this  
23 was at a very high temperature, maybe 800 Celsius. But, the  
24 experiments are so easy to do that. I mean, if you want to

1 try this at 300C, I think it only takes 10 minutes to find  
2 out whether sodium chloride will crack a film. So, that sort  
3 of experiment would certainly be reasonable, I think.

4       STREHBLOW: But, I think it is also very important in  
5 the context of the stability of a passive film because you  
6 are reaching perhaps 160 Centigrade or somebody told  
7 something about 220. So, we are approaching some temperature  
8 where this could be a danger.

9       BULLEN: Thank you. Dr. MacDougall, would you like to  
10 make a few comments about Question 1? You can show whatever  
11 you like because now we don't have a time limit. Well, maybe  
12 as a professor, you have a 50 minute time limit, but that's  
13 it.

14       MACDOUGALL: I'm not a professor.

15       BULLEN: Oh, well, we could promote you. Could you put  
16 the microphone on, please? Right there. It's right next to  
17 you.

18       MACDOUGALL: Well, it's about the passive current, in  
19 fact, and the nature of the question. I'm not again talking  
20 about Alloy C-22; I'm talking about nickel. I spent a good  
21 part of my life years ago decorating defects on passive films  
22 that were formed on nickel in sulfate solutions over various  
23 pHs and breaking those films down and open circuit. This is  
24 the nickel single crystal work that we talked about and it's

1 a one-one-one. You have little arrowheads, and in point of  
2 fact, you can see them here. They're beautiful  
3 crystallographic etch pits which are developed, I believe,  
4 and I'm absolutely convinced, in defects within the passive  
5 film that are frozen in once you open the circuit you take  
6 the driving force away. There's a large number of them  
7 there. That was formed on a film that wasn't formed very  
8 long or it has low potential or something like that. You had  
9 fewer of them when the conditions of formation of the film,  
10 passivation conditions, were, in fact, longer or at higher  
11 potential. In this case, I believe it's longer. Then, when  
12 you went to very long periods of time, you had fewer defects  
13 still. You only had a few on the surface. In fact, it was  
14 70 hours at 0.0 volts. You only had a couple.

15           Now, the passive current is obviously going to be  
16 lower here than it is for that, than it is for that one, but  
17 I don't necessarily agree that we're better off with this  
18 than we are with those ones because it's something that Susan  
19 alluded to this morning. In fact, I've had the feeling and  
20 qualitatively I believe that I've pretty much proven it  
21 qualitatively is a different story. This was done some years  
22 ago, many years ago now.

23           But, I think what happens is that the number of  
24 defects going from 100 to 10 to 1, the current doesn't go for

1 100i to 10i to 1i; it goes from, exaggerate, perhaps 100i to  
2 30 or 40i to 10 or something of this nature. What I'm saying  
3 is that each of the defects here has to handle more--not more  
4 strain, but has to handle more activity because the strain of  
5 the film is not going down accordingly. So, the passive  
6 current that you see is going down. You'd say that's very  
7 good in point of fact. But, the activity associated with  
8 that defect, which was caused because of breakdown and  
9 repair, these defects are not static, they're mobile over the  
10 entire surface. They will eventually, when you have the  
11 potential applied, encompass the entire surface. The oxygen  
12 16, 18 SIMS work proved that, in fact.

13           But, what I'm saying is that you would say, look,  
14 if a very low passive current here, but that doesn't  
15 necessarily mean, in fact, that you have a better scenario  
16 for localized corrosion which depends upon the current  
17 efficiency for the repair of any of those breakdown events.  
18 When you're on open circuit, it could be even worse because  
19 you have a larger cathodic area, in fact, involved in this  
20 particular case here.

21           So, I think just to say what of the passive  
22 current, the implication of the question is that it goes  
23 down, you're better off. That's not necessarily true. If it  
24 was up, you may be better off in some cases. I'm not sure.

1 I think with this alloy, C-22, it may have such a frightfully  
2 resistant passive film--and I don't know firsthand--but you  
3 may have to mechanically disrupt it or remove it in some sort  
4 of way like that which is perhaps not out of the realm of  
5 possibility. But, this is 70 hours and, as I say, the film,  
6 in point of fact, the defects in the film, I think, are  
7 getting, if anything, more prone to supporting some kind of a  
8 localized attack in that particular system that I was  
9 investigating. So, I think one has to be terribly careful of  
10 just looking to the passive current. It's an overall thing,  
11 I realize, but it has other things encompassed in it, in  
12 terms of the current efficiency for the repair of those  
13 events.

14 BULLEN: Bullen, Board. Just a follow up question.  
15 Because one of the things you look at is the drift in that  
16 current, do you think that it's the increase in the  
17 population of those types of sites in C-22 that makes that  
18 happen?

19 MACDOUGALL: This was nickel here in point of fact.

20 BULLEN: Right.

21 MACDOUGALL: It was decreased and the density was  
22 decreased in point of fact. But, certainly, yeah. Yeah.  
23 There are fewer defects in that, and I counted them up, you  
24 could count them. I'm sure today, if people were doing it

1 today, they could do it much better. The ultimate would be,  
2 I guess, if one had, I suppose, only one defect. It may be  
3 so active that it would drill a hole in something in no time  
4 flat. So, maybe there's an optimum number of them or  
5 something of this nature in a system like this.

6 C-22, I certainly don't know, but I've used the  
7 analogy and again I have to be cautious because I don't know  
8 if this is applicable to this particular system here, but I  
9 think that one should, at least, consider it, the analogy  
10 with people. Some people have heard me say this before.  
11 Human beings, in point of fact, are those human beings who  
12 have lots of small defects, well, it's okay, I think they can  
13 get by in life and not do themselves or society any great  
14 injury. But, if a person has--perhaps, he's perfect, but he  
15 has one defect, it would be one deuce of a defect.

16 So, you perhaps, have to be careful that you reduce  
17 things--something to almost nothing. It's the strain in the  
18 film and, again, I mean, there were people at the University  
19 of Virginia years ago that looked at this Gwalfney and his  
20 group and people. It's a very difficult problem to look at,  
21 but just how is the strain decreasing within these films as  
22 time, in fact, goes on and the propensity towards this sort  
23 of localized corrosion.

24 And, I would agree that, in point of fact, if you

1 have some kind of a porous deposit on a surface that Roger is  
2 talking about and others, then you could be in a bit of  
3 trouble, in fact. I mean, that's pretty nasty thing because  
4 the stews, the environments, the crevice situation, all of  
5 these places where you can have these occluded cells, that's  
6 something that could make things certainly much worse if they  
7 were to happen.

8           BULLEN: Thank you, Dr. MacDougall. It makes me happy  
9 for my small defects and hopefully not one big one that I  
10 seem to have. We're not all as well-engendered as you are,  
11 Dr. Kruger. So, we all have a few of these.

12           Dr. Smialowska, would you? Please, right to the  
13 microphone.

14           SMIALOWSKA: I would like to emphasize again the  
15 differences that can occur during these short time aging and  
16 long time aging because, in fact, we don't know nothing about  
17 what happens during the longer period of time. If you would  
18 take into consideration the mechanism of aging in this short  
19 period of time, you know that the corrosion properties are  
20 better which means resistance to corrosion increases. At the  
21 same time, there are a lot of mechanisms which showed that  
22 during the longer period of time, you should have rather  
23 higher corrosion than lower. According to what we know from  
24 short time of aging, it should be very small corrosion. But,

1 we cannot say that after a certain period of time you have  
2 some changing in the mechanism of corrosion because some  
3 other phenomena appears.

4           This phenomena which I think could be, it is that  
5 after some time, we have this very small defect in passive  
6 film. Passive film is much more resistant, much more stiff,  
7 much more rigid, and what we will have then, we will have  
8 mechanical breakdown of the film which will be--first of all,  
9 we will have stresses in the passive film and later on  
10 cracks. And then, you will have destabilization of the film  
11 and it might be you start again to have high corrosion and  
12 then going up to the lower corrosion again.

13           So, I think that it is, of course, very difficult  
14 to model the aging after longer period of time, but it can be  
15 done some experiments which can show you that after special  
16 treatment, you have decrease of this defect, and later on,  
17 you might probably see this mechanical breakdown. I think  
18 that I know these kind of experiments.

19           Concerning other things, the surface preparation,  
20 of course, surface preparation is very important, but again  
21 this is very important in initial period of time. Initial  
22 period of time, I am saying about this 100 years or something  
23 like this. Later on when the corrosion starts, then the  
24 preparation of specimens will not play very much role, very

1 big role. But, what I think it would be important, it is  
2 agglomeration of corrosion products of salt, salts films  
3 different which were these salts especially which are not  
4 dissolved in water and you have this calcium salt, and  
5 magnesium, also, not dissolved, and then you will have some  
6 specimen which is not uniformly covered by this debris and by  
7 this corrosion. Then, you will have non-uniform general  
8 corrosion which is some kind of localized corrosion.

9           So, it seems to me that quite a lot should be done  
10 to be able to model what is going on after longer periods of  
11 time. We don't know. For example, we don't know if the  
12 composition of film is changing and how much it's changing.  
13 Composition like you have at the beginning, everybody knows  
14 that it's agglomeration of chromium oxide on the film, but if  
15 it change during aging or not, we don't know nothing about  
16 this. We don't know also nothing about the physical property  
17 of the film.

18           SAGÜÉS: I would like to make a comment on a question.  
19 The first comment is that, indeed, the kind of things that  
20 you mentioned that we don't know about, the makeup of the  
21 film after long periods of time. It is part of the reason  
22 why we are here talking about this. One thing that you  
23 didn't mention and interestingly I haven't heard anyone  
24 mention, so far. It's sort of like the sore subject,

1 sometimes, is whether the film starts as a crystalline and  
2 then goes into amorphous or it's amorphous and then goes into  
3 crystalline or where is it in this area? And, I wanted to  
4 ask what you may have to say about that particular aspect?  
5 Then, I have something else I wanted to ask you.

6 SMIALOWSKA: If I would know, it would be nice.  
7 Concerning the amorphous film and crystalline films, then  
8 when I know, it is all old work of Jurry who showed that when  
9 you have higher concentration of chromium in the film, you  
10 have much more--the film is much more amorphous. Is that  
11 right?

12 SPEAKER: That's controversial, but that's right, yes.

13 SMIALOWSKA: Yes. And so, however, after some time,  
14 maybe the crystallization can occur, but I don't know. It  
15 might be. It might be yes, it might be not. But, it would  
16 be some kind of the cyclic changes of property, I believe, in  
17 this. That it is not constant.

18 SAGÜÉS: Thanks for your answer. Before I ask you the  
19 other question, Dr. Strehblow had a comment, I guess.

20 STREHBLOW: To your aging aspects, I don't have  
21 experience with the Alloy-22, but with many other binary  
22 alloys. The chemical composition of these films is changing  
23 from--in many cases, we followed that from milliseconds to a  
24 week about. Even in the long-term, you may accumulate those

1 species which are not dissolving. So, even after a week, we  
2 have still an increase, for instance, in chromium and iron  
3 chromium alloys. This is the chemical aspect. The other  
4 aspect is the question crystalline or amorphous and I think  
5 Phillipe can add many further arguments to that. We've  
6 studied together the situation on copper and you have a  
7 certain sequence. In a very short period of time, you see  
8 amorphous films forming at the very beginning, and then later  
9 on, at least in the case of copper where we have experience,  
10 it turns to a crystalline form when you see the crystalline  
11 structure with STM. There are changes and you can follow  
12 them with these methods you have today and this is giving us  
13 the idea that in many cases the crystalline film is not a bad  
14 film; it's a very good film and protective film.

15 SMIALOWSKA: Okay. I am glad that I was thinking in the  
16 right direction.

17 KRUGER: Copper is quite different from chromium,  
18 though.

19 SPEAKER: Of course, of course.

20 BULLEN: Okay. Dr. MacDougall?

21 MACDOUGALL: May I add just one caveat here in terms of  
22 the crystal nature of these films? The one on nickel, I  
23 certainly know rather well. On the Nickel 1-1-1 crystal, one  
24 has a film. The passive film is a particle size approaching,

1 I think its about 10 angstroms, which is a pretty small  
2 particle size, in fact. But, it's perfectly epitaxed. If  
3 you look at the diffraction patterns, it's 1-1-1 on 1-1-1,  
4 the directions in the two major directions. What you have  
5 are very small angle boundaries. It's a mosaic. The  
6 boundaries between these particles are certainly less than a  
7 degree, much less. So, we're into a bit of a gray area what  
8 these things mean in terms of dislocations and that sort of  
9 thing. Are they sweeping the surface? And, we have very  
10 small particle sizes which indicate a lot of disorder. But,  
11 diffraction patterns indicate (coughing) tremendous order.  
12 So, you have to interpret these things in a special way,  
13 especially when you're dealing with films that are 10 or 12  
14 angstroms thick. I mean, they aren't like bulk phases or  
15 anything like that.

16 BULLEN: Dr. Smialowska, did you have another comment?

17 SMIALOWSKA: No, I have--no, but I wanted to say  
18 something about the passive film.

19 BULLEN: Oh, please do?

20 SMIALOWSKA: Concerning the effect of potential on the  
21 passive film, in fact, you grow the passive film with  
22 potential, but this growth is not very substantial. It means  
23 you will have at the most 14 angstroms thick film and less.  
24 And, I think that if you will do some kind of experiments to

1 keep the passive matter at potential which will be below the  
2 transpassive potential--so you have to be sure that you are  
3 indeed below this transpassive potential and keep it for long  
4 period of time--you might be able to see this mechanical  
5 breakdown. And, if it would be like this, it means that  
6 during the long period of time, you will have the same  
7 situation in your case.

8 BULLEN: Thank you. That's a very good suggestion.

9 I'm going to take some chairman's prerogative. I  
10 would like to ask Dr. Sato to make a few comments and then  
11 we're going to take the break that was scheduled for 15 or 20  
12 minutes ago and I'll do that in just a second.

13 So, Dr. Sato, would you, please, make your comments  
14 on Question 1, please?

15 SATO: And, for uniform passive film dissolution is  
16 concerned, the accepted knowledge indicated that the passive  
17 film dissolution was controlled by the interfacial potential  
18 difference between the film and dissolution. So that  
19 anything that changed the interfacial potential will change  
20 the dissolution rate. For instance, aqueous environment, a  
21 different kind of composition, and also the absorption of  
22 hydrated anions. But, I don't think such a arrangement, the  
23 absorption gives us a dangerous increase of the dissolution  
24 current. I don't think so. So that I cannot see any

1 specific mechanism that causes a great deal of increase of  
2 dissolution current.

3           Well, in addition, I think that the most important  
4 thing is that we have to keep the open circuit potential in  
5 the certain limit range where the passivity is maintained.  
6 If your open circuit potential goes outside the safety  
7 regime, you will get into trouble. For instance, going up,  
8 potential going up so you have transpassive dissolution  
9 region which you have a great deal of dissolution rate  
10 compared with the passive state. And, also, if you go down  
11 the potential, you will probably get into the active state.  
12 I'm not quite sure, your Alloy-22, how the active dissolution  
13 regime is-- .

14       BULLEN: That's a little difficult.

15       SATO: Except for hydrogen.

16           Well, I would like to add one more thing. That is  
17 the radiation effect. So far, we have been thinking only the  
18 electrolysis, radiolysis, which produced, for instance,  
19 oxidizing substances, such as hydrogen peroxide, which is one  
20 of the candidates which increases the electrode potential so  
21 that you get into trouble.

22           But, besides this electrolysis, we have to pay  
23 attention. The low energy radiation produces excited  
24 electrons and holes, as I told you in the morning. This

1 excitation in the solid state--for instance, the electron and  
2 hole has an energy of the same order of magnitude, same order  
3 of the electron volt, similar electron volt, with the action  
4 of corrosion. So, it means this is direct effect to the  
5 corrosion process itself. But, we have quite a different  
6 kind of solid, you see, mostly probably the salt or oxide  
7 which are probably semiconducting oxide materials. So, it  
8 has, you see, band gaps so that the low energy radiation  
9 excites these solids. You have excited electrons and holes  
10 which have relatively high reducing and oxidizing capacity  
11 which affects the growth process itself.

12       BULLEN: Bullen, Board. I actually had a follow up  
13 question on the presentation you made this morning with  
14 regard to the radiation and radiolysis effects. This may be  
15 an inverse argument for temperature because do you expect the  
16 stability of the electron/hole pairs produced by radiation or  
17 radiolysis to be greater at lower temperature--and I'm  
18 showing you my ignorance of solid state physics now by asking  
19 this question--versus higher temperature?

20       SATO: I am not quite sure, but you see the high energy  
21 radiation with the energy median electron volt at the--not  
22 directly affected the corrosion process, itself.

23       BULLEN: Right.

24       SATO: Of course, you have radiation damage producing

1 lattice defects or something like that. But, these point  
2 defect affects indirectly to the corrosion processes, but not  
3 directly.

4 BULLEN: Okay.

5 SATO: But, in the case of excited electrons in the  
6 hole, because the energy lengths, you see, similar electron  
7 volts so this is able, you see, to change the corrosion  
8 process itself.

9 BULLEN: Okay.

10 MACDONALD: Can I just make a comment on this?

11 BULLEN: Yeah, go ahead, Digby?

12 MACDONALD: You know, it has been found that irradiation  
13 of passive stainless steel surfaces inhibits pitting  
14 corrosion, inhibits the nucleation of the pits. Now, we've  
15 done that work, Professor Shibata has done that work. It  
16 does that by producing electron/hole pairs--at least, this is  
17 my interpretation--producing electron/hole pairs which  
18 essentially quench the electric field within the passive  
19 film, the barrier layer and, hence, reduces the driving force  
20 for the movement of vacancies across the layer. So, you have  
21 go to a higher potential on the metal in order to compensate  
22 for that effect. Okay? So, what would be interesting to do  
23 would be to find out whether that same phenomenon occurs in  
24 C-22, firstly. Secondly, if it can be induced with gamma

1 radiation--I don't see any reason why it couldn't be induced  
2 with gamma radiation--and whether the shift in the breakdown  
3 voltage is comparable to the shift in the corrosion potential  
4 produced by radiolysis of water. I think if you were able to  
5 do those three things, you might be able to sort out that  
6 issue quite nicely.

7       BULLEN: Thank you. Actually, we are a little more than  
8 halfway through the panel roundtable type discussion of  
9 Question 1, but I want to introduce a break. I would like to  
10 take 10 minutes which means I know you'll be back in 15, but  
11 10 minute break so everybody is back here at 3:35.

12           Before you leave, I'd like a couple people from  
13 Livermore or the project who have access to C-22 results to  
14 come talk to me, please? I think that may be Jerry Gordon or  
15 maybe Greg Gdowski or maybe even David Shoesmith who looks  
16 like he's a culpable individual there. So, I'd like to talk  
17 to them during break, please. 10 minutes.

18           (Whereupon, a brief recess was taken.)

19

20       BULLEN: We had a request from a panel member for some  
21 additional information. And so being as responsive as  
22 possible, the Department of Energy has identified Gerry  
23 Gordon as the opportune one who gets to come up here and give  
24 us a brief description of some of the results of the C-22

1 work that has been done to date. And, so I'm going to give  
2 Gerry the onerous task of going six to ten minutes max, and  
3 giving a quick overview of some of the general, or maybe even  
4 localized corrosion issues associated with C-22. And then  
5 I'll ask a couple of the questions of some other members of  
6 the audience. But, Gerry, you've got about five to ten  
7 minutes, please.

8 SAGÜÉS: Dan, excuse me.

9 BULLEN: Oh, Alberto, go ahead.

10 SAGÜÉS: Gerry, would you mind telling the panel members  
11 what is your exact capacity within the Yucca Mountain  
12 Program, and what are your technical responsibilities?  
13 Because I think that that may--

14 GORDON: Yeah.

15 SAGÜÉS: Thank you.

16 GORDON: I am the materials team lead in Las Vegas on  
17 the Yucca Mountain Project, with Bechtel SAIC BSC Company.  
18 That's primarily what I am.

19 This is just some of the environments that we are  
20 doing tests in. They represent concentrated salt solutions.  
21 This is the so-called J-13 groundwater at the site,  
22 concentrated to 10X, 1000X. This is similar, but with the pH  
23 adjusted to 2.8. This is about 50,000X concentration of the  
24 groundwater. It's fairly high in chloride. And this is a

1 non-carbonate nitrate, sodium potassium nitrate chloride.  
2 This is wrong. It can't be more than a million parts per  
3 million, but it's very high in nitrate.

4           I think a key observation is that the molar ratio  
5 of chloride to some of the buffer or more beneficial ions is  
6 listed down below. It's on the order of one. If you go to  
7 pure sodium chloride, the environment becomes significantly  
8 more aggressive.

9           You saw a version of this earlier. These are the  
10 data based on descaled weight loss from the long-term  
11 corrosion test facility, and they covered the first three  
12 environments on the left that I showed on the previous slide  
13 over a limited range of temperature from 60 to 90 centigrade.  
14 And what's on here is the uncertainty band due to the very  
15 low corrosion rates. At two years, a mean rate is 100  
16 angstroms per year. And so when you're doing descaled weight  
17 loss, the total weight loss is very low, and the air and the  
18 microbalance that does the measurement, and the dimensions of  
19 the sample, the descaling process, and so on, leads to this  
20 type of uncertainty, which with time is decreasing because of  
21 the total metal loss is increasing.

22           You saw some of these earlier, but they do  
23 represent independent confirmation of the magnitude of the  
24 general corrosion rate, the mean rate being on the order of

1 .01 microns per year, and being relatively insensitive to  
2 temperature. I think that shows up on a later slide. And  
3 these are some potentiostatic tests and unbuffered, so it  
4 should be .028, I think, molar-sodium chloride that show a  
5 similar kind of fairly low rate.

6           This is the surface from a specimen in atomic force  
7 microscopy after one year's exposure at 90 centigrade in  
8 simulated concentrated water. In this case, it was exposed  
9 in the vapor phase. There are also samples at the water  
10 line, and submerged. And this one had relatively little  
11 surface deposit. In many cases, you see silicate and some  
12 sodium chloride sometimes deposits when you examine the  
13 surface. This is a control sample, and this is a sample  
14 after one year's exposure. And you can see very little  
15 rounding of the sharp edges. These are 600 grid, I think,  
16 polished initially, and you can still see the polishing  
17 marks. And it's obvious the corrosion rate is very low.

18           Initially, the waste package will be exposed to dry  
19 air at maybe 160 centigrade. It depends on the final  
20 temperature mode that is selected. So, we've started to  
21 study the growth kinetics using the tunneling atomic force  
22 microscope. these are some results at Lawrence Livermore.

23           This is a surface. In this case, it's an atomic  
24 force microscope in which you're applying a bias potential

1 and you're measuring the current that results, and it's a  
2 function of the oxide thickness. There are some calibration  
3 constants that need to get established for a given alloy  
4 system and oxide. This is conventional atomic force  
5 microscope. This is the electron current density map, if you  
6 will. It shows scratches, polishing scratches on the  
7 surface. This is after 45 days at 200 centigrade.

8           On the left here is the current versus the bias  
9 potential that's applied. These are calculated lines at one,  
10 two, three and four nanometers. The points are experimental  
11 data. The passive film, the air form film at the start was  
12 about 2 microns. After 28 days, it went up to something like  
13 2.8--I'm sorry--nanometers. After 45 days, about 3.2  
14 nanometers. And recently, they're 210 day data, and it's up  
15 to about 3.3. It's essentially leveled off to a constant  
16 thickness.

17           These are some data from the University of Western  
18 Ontario using time of flight secondary ion mass spectrometry.  
19 And, again, we're looking at--these are sputtered off and  
20 analyzed in a mass spectrometer, and you can see that for  
21 Alloy C-22 in the air grown films, it's rich in chromium  
22 oxide and molybdenum. At 200 millivolts, I think this was  
23 about 12 hours at 200 millivolts, and 1 molar pH 1 sodium  
24 chloride at 85 centigrade, similar to the air form film.

1           In contrast to Alloy C-4, which contains something  
2 like 15 or 16 percent chromium instead of 23, and somewhat  
3 higher molybdenum, you see the film is rich in molybdenum,  
4 and because of the lower chromium content, a lot lower  
5 chromium. But in Alloy 22, chromium, and in this case,  
6 molybdenum are present in the film.

7           At 500 millivolts, you're starting to get  
8 transpassive dissolution, and the chromium is dropping out.  
9 It's dissolving. The chrome 3, which is insoluble, is going  
10 to soluble chrome 6. So the ratio of chrome to molybdenum is  
11 decreasing.

12           In terms of localized corrosion, there have been a  
13 lot of tests and they're described in a lot of documentation,  
14 primarily done with cyclic polarization in a range of  
15 environments with and without these nitrate, sulfate,  
16 silicate, carbonate type buffer ions that are always present  
17 at least in all the waters that have been examined at the  
18 site. The groundwaters, the percolating waters, the pore  
19 waters all have roughly that one-to-one ratio of chloride to  
20 nitrate. You can get localized corrosion in Alloy 22 in pure  
21 sodium chloride at high enough potentials, especially if you  
22 crevice it.

23           This is an example of probably, along with  
24 magnesium chloride, the most aggressive postulated

1 environment, and this shows the cyclic polarization curve  
2 with and without nitrate present. And it has a very marked  
3 effect. In this case, this is at 120 C., with near saturated  
4 calcium chloride and calcium nitrate. There are a lot of  
5 other data that show similar effects, that ratio of chloride  
6 to nitrate, plus sulfate, as it approaches one. There have  
7 been data done at 10 to 1, 100 to 1, and 1 to 1, and there's  
8 a very marked benefit of all of these oxyanions that are  
9 present in the water. So that needs to be considered.

10           These are some data generated again at the  
11 University of Western Ontario very recently, where these are  
12 potentiostatically polarized samples, and the current density  
13 after I believe it was 12 hours exposure over a range of  
14 temperatures from room temperature to, I think, 85  
15 centigrade, and it's a comparison of a range of nickel based  
16 alloys. And at 200 millivolts, the corrosion potential is  
17 approximately that, so a little above the corrosion  
18 potential. There's very little temperature dependency over  
19 this range. There's some, but it's very small.

20           At 500 millivolts, it's somewhat higher. These  
21 vertical lines on some of these alloys, these were samples  
22 mounted in a plastic mount, and there was a crevice at the  
23 edge of the sample. In some of these samples, you could see  
24 crevice corrosion occurring. Alloy 22, at least under these

1 conditions up to this 85 centigrade, didn't suffer crevice  
2 corrosion. Again, this is in one molar sodium chloride, pH  
3 1.

4 BULLEN: Thank you, Gerry. I appreciate that.

5 Were there any specific questions on these types of  
6 results, or other questions from the workshop panel members?

7 Roger, go right ahead.

8 NEWMAN: I guess in terms of transpassivity, that's much  
9 less likely in acid than in alkali, I think. Is that you're  
10 experience?

11 GORDON: Because of chromium solubility; that's right.

12 NEWMAN: Yes. So I just wonder if the use of the pH 1  
13 solution there might be deemphasizing the transpassive  
14 phenomenon quite a bit.

15 GORDON: Well, if you look at that very first table on  
16 the range of environments that have been tested, we've tested  
17 up to pH 13, and a very, very concentrated J-13. Can you go  
18 back to that table a second?

19 NEWMAN: Okay. You don't claim any credit for the OH  
20 minus ions there in that solution, that pH 12. You say that  
21 the inhibition is due to the nitrates and the sulfate. But I  
22 guess if you're at pH 12-point-something, are you also  
23 getting some inhibition of localized corrosion from the  
24 hydroxide ions?

1 GORDON: You likely are. You can postulate neutral or  
2 closer to acid environments that could exist. But the  
3 nitrates are always present, at least in all the waters that  
4 have been identified.

5 BULLEN: Bullen, Board. Any other questions from the  
6 panel?

7 MACDOUGALL: Could you leave on the conclusions for a  
8 moment?

9 GORDON: Okay. I didn't go through all the charts that  
10 led to them. But I certainly can.

11 I also didn't go into the path forward, the test  
12 program that's underway. There's a lot more experimental  
13 effort, modeling effort underway now.

14 BULLEN: Professor Davenport?

15 DAVENPORT: Just a quick question. In the absence of  
16 Professor Bohni, I guess somebody should ask is there much  
17 work being done on metastable activity in this system?

18 GORDON: Metastable pitting?

19 DAVENPORT: Yes.

20 GORDON: At the University of Virginia, Dr. Scully,  
21 under project funding, has done a fairly extensive study of  
22 metastable pitting over a range of these oxyanion to chloride  
23 ratios. And under potentiostatic, long-term potentiostatic  
24 tests, you do see a small amount of what could be metastable

1 pitting that dies off with time and potential. It's pretty  
2 resistant to it.

3 KRUGER: Even at elevated temperatures?

4 GORDON: These were up to 100 centigrade.

5 BULLEN: Any other questions? Roger, I'm going to  
6 defer--I think I'm going to try and get around the table  
7 before we finish up.

8 So, thank you, Gerry. In fact, I'll apologize to  
9 David Shoemith right now. He may want to make a comment in  
10 the public comment period, but I would like to get the rest  
11 of the way around the table on question one, and we still  
12 have six panel members left. So, if we could move to Dr.  
13 Bertocci? Please identify yourself.

14 BERTOCCI: The question is whether we can imagine  
15 mechanisms whereby the corrosion rate is higher than the  
16 expected one. And I think all day long, we have heard of  
17 possible mechanisms. I think that most of us would agree  
18 that if the conditions used for the test can be maintained  
19 for the whole time, probably the corrosion rate would be what  
20 the data said. But I think that we question, or a lot of  
21 people here have questioned the possibility of keeping these  
22 conditions, instead of having small samples which have been  
23 cleaned and so forth, we have these huge things which have  
24 been transported inside the tunnels, presumably not in a

1 condition like the electronic industry, so we have dust  
2 depositing, we have the formation of films and scales, and  
3 what not.

4           And so the real point is how can--most of us I  
5 think are very doubtful that the conditions which have been  
6 used to do the measurements will be maintained in time and  
7 space.

8           BULLEN: Alberto, did you have any specific questions  
9 you wanted to ask? Or do you want to finish the rest of the  
10 way around the table?

11          SAGÜÉS: I would like to say something that pertains to  
12 what Dr. Bertocci was saying that may be for the other  
13 participants to keep in mind, and that is that maybe since  
14 we're going to be getting to the end of the day pretty soon,  
15 I really would like to hear an answer to the question that  
16 Dr. Craig formulated. And that is can we extrapolate over  
17 10,000 years? And more importantly, say why we can  
18 extrapolate over 10,000 years. As a technical community or  
19 as a scientific group, and the like, do we feel that there is  
20 enough here to make a reasonable extrapolation? Or perhaps  
21 maybe the other way to say it would be how uncertain or how  
22 certain you will be that this extrapolation is in order?  
23 And, again, we're looking here for opinions, and maybe to  
24 frame your answer, so your comments perhaps around that kind

1 of a question.

2 BULLEN: Do you want Dr. Bertocci to answer, or do you  
3 want to go on to Dr. Pickering? Dr. Bertocci?

4 BERTOCCI: I think that we have, a number of us have  
5 proposed quite a number of possible mechanisms which would be  
6 active if the conditions are not the ones that have been  
7 used. So, I suppose all of us would propose tests in  
8 conditions which were outside the range which has been used  
9 so far in order to have a better idea of what would happen if  
10 the conditions are not maintained.

11 A question I would like to ask also is what do we  
12 expect? That all the canisters will resist 10,000 years, or  
13 would be satisfied to have a few failures? I think that this  
14 would become an important point to decide whether or not the  
15 conditions and the materials in so far are sufficient or not.

16 BULLEN: Bullen, Board.

17 I'd actually like to address that one, because we  
18 really have a very focused nature for this workshop, which is  
19 how well do the waste packages work, and what mechanisms are  
20 going to operate over the 10,000 year time frame. But in the  
21 grand scheme of things, the project and the decision-makers  
22 who have to decide whether or not the site is suitable have  
23 to look at the legal criteria which are the EPA standard for  
24 performance, which is a dose based standard, or a risk based

1 standard, for a population of people living down gradient  
2 from the mountain 10,000 years from now.

3           And, so to be perfectly honest, and this is a  
4 terrible way to put it, the solution to pollution is  
5 dilution, and so you would want to fail one can every ten  
6 years or so, and have a very slow release, and that would be  
7 the best. But that's obviously not a very licensable  
8 approach.

9           And, so in answer to your question, you know, we  
10 want to do the best we can in understanding the performance  
11 of the repository. But the actual performance itself isn't  
12 the waste package only; it's the waste package in conjunction  
13 with the natural system. And so we're asking you to focus  
14 very, very narrowly here, and we kind of apologize for that,  
15 but in a certain sense, no, because we want to get your  
16 expert opinion.

17           But, in answer to your question, sure, it doesn't  
18 have to last for 10,000 years. I mean, if one can fails,  
19 does the entire repository fail? No, that depends on how it  
20 fails and what time it fails and the release rates and the  
21 mechanisms, and all that. So, that's kind of beyond the  
22 scope of this. And I hope I didn't confuse the issue too  
23 much, but we are very focused here on passive layer  
24 stability, and long-term extrapolation. And, so that's kind

1 of the focus here, and I hope I answered your question.

2           Did I raise any more that the rest of the panel  
3 have? Digby, go right ahead.

4           MACDONALD: If you ask the question can we predict, it  
5 begs the following question. To what accuracy? Now, there's  
6 another aspect of accuracy, and that is that if you were to  
7 build the canister with too thin a wall, of course, you  
8 couldn't ensure reliability. If you say, well, I'll go the  
9 opposite direction and build with a very thick wall, you may  
10 not be able to afford it. So what we haven't discussed here  
11 and defined is the accuracy with which we need to make these  
12 predictions. Is it a factor of ten? A factor of 100? It  
13 makes a big difference. Roger is going to say something.

14          BULLEN: Bullen, Board.

15           Actually, you get beyond the realm of science, into  
16 policy issues, with respect to certainty of performance and  
17 those types of issues.

18          MACDONALD: Right. But it's absolutely vital that  
19 somebody give us guidance as to what accuracy these  
20 predictions need to be made to.

21          BULLEN: I'm looking at Alberto now.

22          SAGÜÉS: Well, what I'm saying is the following.

23 Suppose that you have this same group, and you say we're  
24 going to build this--or, rather, the Yucca Mountain Project

1 is proposing to build a canister out of 1 millimeter thick  
2 1020 carbon steel, and nothing else in between that and the  
3 waste, I have the feeling that we would be hearing some  
4 opinions saying this can never make it, impossible. It makes  
5 no sense to even think about it, et cetera, et cetera. That  
6 would be one extreme attitude.

7           The other would be to say we're going to build this  
8 out of a very thick and internally strengthened precious  
9 metal alloy, and I have a feeling that we may be hearing most  
10 people on this panel saying that, well, that is pretty much  
11 guaranteed as far as we know with all of our knowledge to  
12 last for a period of time that would be extremely long, and I  
13 would say exceeding, with a good degree of certainty, 10,000  
14 years, if not maybe a much greater amount of time. And you  
15 get now into having analogs and all that that can show that.  
16 Evidently, we have something in between.

17           And what I would like to see, to hear a little bit  
18 more when you have an idea of the kind of evidence that  
19 exist, the direct evidence, empirical evidence, and so on,  
20 and of course this group has an extremely good idea of what  
21 is the present status of fundamental knowledge in the area of  
22 passivity. And what I would like to hear is maybe not a yes  
23 or no, and indeed we don't want to do that with this kind of  
24 a group, and maybe we'd like to hear a little bit more of how

1 your answers are colored by this overall question. Are we  
2 having a reasonable chance of predicting durability over  
3 10,000 years using our present empirical knowledge, and the  
4 knowledge that the scientific community has on the phenomenon  
5 of passivity and its stability?

6 BULLEN: Can I hand that one right to Professor  
7 Pickering as he sits here? You're on the spot. Dr.  
8 Pickering?

9 PICKERING: Well, I think I came in here with the  
10 feeling that we couldn't trust the passive current density to  
11 remain at the low level for many reasons, and we've heard  
12 many mechanisms. Certainly the one that seems to come out,  
13 at least to my ears, from many members of the panel is this  
14 deposition of debris, or reaction products, other things that  
15 might form this film.

16 Immediately, then I, you know, you see the  
17 possibility of composition of the electrolyte changing at the  
18 base of that film. And, you know, whether it's sulfur  
19 species or chloride or whatever that might accumulate, it's  
20 going to raise, you can visualize it raising the passive  
21 current density. And if you need  $10^{-8}$  amps per  
22 square centimeter to last ten years, then if you raise it  
23 only to  $10^{-7}$  amps per square centimeter, you're  
24 only going to last a thousand years, if my simple minded

1 calculation is right.

2           So, yeah, I think it would be hard for me to say  
3 that we can extrapolate comfortably from what we know at this  
4 time.

5           That's all.

6           BULLEN: Okay. Dr. Cragnoilino?

7           CRAGNOLINO: Yes, I have a comment, and I would try to  
8 concentrate essentially on question number one. I'll leave  
9 some of the issues related to number two in some way  
10 connected with what Alison mentioned before for tomorrow.

11           In some ways, even though I respect the opinion of  
12 Roger, I have to disagree in the sense that I believe that  
13 the environments are much more bounded than we tried to  
14 demonstrate. I learned not a long time ago that as a  
15 chemist, you do something called chemical divide, and allow  
16 then to discriminate what is the tendency of the environment  
17 and the condition of evaporation. What salt could  
18 precipitate and what you can expect as evolution, and we have  
19 two possibilities that were mentioned by Carl this morning in  
20 some way, but was not paid enough attention. One, is an  
21 evolution towards--an environment that is more acidic, or you  
22 could say it's slightly neutral, in which is magnesium  
23 chloride or calcium chloride, no zinc--chloride because it's  
24 not there, could predominate. And the temperatures--in this

1 case, assuming that we have contact with air, because this  
2 mountain breathes, is going to be about 160 degrees C.

3           On the other side, we have the possibility of much  
4 more alkaline type environment, and this is a situation--in  
5 which we move--. Now, if we use short-term measurements of  
6 passive corrosion rate that are not in a steady state  
7 condition, we can demonstrate that this rate measured by  
8 electrochemical methods are almost independent upon the  
9 concentration of the chloride, and upon the pH, from a wide  
10 range of pH. And this is because chromium dominate the  
11 composition of the passive film under steady state  
12 conditions.

13           Now, this is telling us what happens under what we  
14 can consider a steady state condition that for nickel  
15 chromium alloys, contrary to iron--chromium alloys, you can  
16 get a steady condition in a couple of days at most. For  
17 nickel based alloys of this type, you need much more time.

18           However, you establish this condition, and you get  
19 films, as was mentioned some time, of the order of two  
20 nanometers, 3 nanometers, something like this, that I believe  
21 that is the real barrier film controlling rate of  
22 dissolution.

23           Now, we have these two problems. One, this  
24 possibility that was mentioned recently by Howard Pickering,

1 and is connected with the idea of Professor Sato, of a  
2 membrane mentioned by Roger Newman, the possibility of  
3 having a membrane formed by corrosion deposition of products  
4 of the dissolution. And this is an issue that we have to  
5 deal with. But the main implication that I see is in  
6 relation to localized corrosion.

7       NEWMAN: May I just butt in there one second? I think  
8 when Susan before, or somebody referred to localized general  
9 corrosion, I think it could also be that.

10       CRAGNOLINO: Oh, okay.

11       NEWMAN: But it's a chemistry change type of corrosion.  
12 It's the type of corrosion where the anodic side becomes  
13 acid.

14       CRAGNOLINO: Exactly. I agree and I think that's an  
15 important consideration.

16       KRUGER: What about the potential going into the  
17 transpassive region?

18       CRAGNOLINO: I will touch up on that point later.

19               I'm going to bring up another point that Phillipe  
20 called to my attention, and was the point that was raised by  
21 Phillipe Marcus before, regarding impurities in the metal.  
22 And I think that this is important. This material has a  
23 specification has a sulfur content of .02 percent. But a  
24 good manufacturer of Alloy 22 will try to decrease

1 significantly the number. It's one order of magnitude lower.  
2 It's 20 ppm. This is my question. Assuming this process  
3 that you mentioned of anodic accumulation of impurities due  
4 to the process of dissolution, do we have a risk that the  
5 stability of the passive film cannot be maintained. Not over  
6 a distributed interface, but at grain boundaries at a  
7 specific location. And this could lead to a form of attack  
8 that we didn't mention, for instance, localized corrosion in  
9 the form of intergranular corrosion that will lead to other  
10 processes that is not the issue here, but would be stress  
11 corrosion cracking, and so on. These are my concerns.

12           Coming to the corrosion potential, we have done  
13 experiment, obviously short-term experiment. We have done  
14 long-term experiment for Alloy 825. We have experiment for  
15 five year in Alloy 825, and the corrosion potential doesn't  
16 evolve beyond the 200 millivolts, in the calomel scale, that  
17 is in the passive regime of Alloy 22.

18           The addition of hydrogen peroxide can produce an  
19 increase, but is not substantial. And we are in that  
20 situation. A transpassive dissolution over a wide range of  
21 pH, and I forget the value but we can look later in my hotel  
22 room--, for Alloy 22 takes place at about 400 millivolts  
23 calomel scale, unless, unless, and here there are problems  
24 with the fabrication process, and the alloy has

1 precipitation, modification in the microstructure, that would  
2 be possible, and will lead to problems.

3           That means that in dealing with the issue of  
4 passivity, I think that this is one thing that we have to  
5 consider as a possibility, and this is the process of  
6 accumulation of more information regarding factors, as was  
7 mentioned by Professor Sato, that could alter the corrosion  
8 potential for reasons that we cannot anticipate very well.

9           Now, responding to the philosophical question, I  
10 have one experience. The experience is an unanticipated  
11 process of irradiation growth of zircaloy. It's an alloy  
12 that is used in fuel elements as a cladding, but is not used  
13 very common as a structural material in the core of nuclear  
14 reactors. Well, nobody anticipated there was going to be a  
15 break-out rate in the kinetics of irradiation growth, and in  
16 the country I was working at that time, Argentina, a nuclear  
17 power plant was out of operation for six months because fuel  
18 channel broke down due to this that nobody was able to  
19 anticipate. This is regarding things that show that to have  
20 limit in our knowledge as you confront issues that could be  
21 catastrophic.

22           BULLEN: Thank you, Gustavo. Any comments from the  
23 panel on what Gustavo just said?

24           Seeing none, I will move on to Dr. Marcus.

1           MARCUS: As most or all of the panelists, I have  
2 proposed this morning a number of mechanisms that would or  
3 that could--I should say that may after long service times  
4 modify the passive currents, I think I proposed four  
5 mechanisms, and one of them was reemphasized by Gustavo,  
6 which is the segregation of impurities, including sulfur, at  
7 the surface or at the interface between the passive film and  
8 the metal. So I'm not going to repeat that.

9           Instead, I may make one or two comments. There was  
10 a comment this morning, I think it was Ugo Bertocci who said  
11 that, and I'll read my notes, that only weight loss and  
12 elementary--electrochemistry are available. Okay, we've  
13 heard a little more later this afternoon on the thickness and  
14 composition, but my concern is that we know really very  
15 little on the specific passive film which is formed on this  
16 specific alloy. We, around this table and the audience, know  
17 a lot about passive films on many metals and alloys, but not  
18 specifically on this alloy.

19           So I think it's quite hard to predict the behavior  
20 of something that you don't really know the nature of. We  
21 know very little on the thickness. We've had just a few data  
22 this afternoon. We don't really know the composition. Of  
23 course, everybody agrees that it's going to be largely  
24 enriched with chromium oxide because this is a general

1 finding on chromium containing alloys in potential and pH  
2 conditions where chromium oxide is stable. But how much  
3 nickel do we have in the passive film? I think what we saw  
4 this afternoon with the SEM--data, in fact I was a little  
5 surprised. I saw that there seems to be a lot of nickel  
6 oxides in these. So it's far from being really a chromium  
7 oxide passive layer. I saw a huge signal which was assigned  
8 to nickel oxide, and I doubt that nickel oxide would behave  
9 very well under the expected environments.

10           Another point which has been raised I think by  
11 Alberto Sagüés earlier is the structure. We know absolutely  
12 nothing on the structure of these films. And to answer this  
13 question, I think this is something we must know, because the  
14 current in the passive state is largely determined by the  
15 defects, the structural defects which are present on the  
16 surface of the oxide film. In fact, most of the oxide films  
17 dissolved at specific sites, where the cations have low  
18 coordination, and that's of course directly related to the  
19 structure.

20           What we know from other metals and alloys in terms  
21 of structure is that for short-term passivation, as was shown  
22 a long time ago by Jerry Kruger, these films are amorphous.  
23 But what we have learned more recently is that aging of these  
24 films in the electrolytes will lead to partial or complete

1 crystallization--, giving some long-range periodicity--with  
2 the structural defects, as was stated with these structures.  
3 And I think we definitely need to know the structure to  
4 really--predict the integrity of the passive films.

5           So, I think it's hard to conclude on that result, I  
6 mean, predicting the behavior of something that you don't  
7 really know the exact nature of.

8           Now, maybe a more general issue is to predict, what  
9 we have to do is to extrapolate on the long-term. But what  
10 do we have really to extrapolate? We have to extrapolate in  
11 time and space. So, what I have learned at school is that to  
12 extrapolate something, I need to have a plot of something as  
13 a function of time. And then if I know the mathematical law,  
14 I can extrapolate. And I have to do the same in space. But  
15 I have seen very little data of that type that would give  
16 some important parameters for the integrity of the passive  
17 films that would vary with time and that would vary with  
18 space derived from experimental data.

19           So, I'm not sure what exactly we can extrapolate.  
20 Okay, if we extrapolate the weight loss measurements, it  
21 seems to be that we can be rather confident that the passive  
22 dissolution would be low enough. But to my knowledge, I  
23 think it's the only curve where we have something as a  
24 function of time on which we can really apply mathematical

1 extrapolation.

2           So, now, maybe another comment is that there seems  
3 to be a consensus around this table, and I would like to also  
4 share this consensus, that there's a risk related to the  
5 concentration of salts in the electrolyte. I think that  
6 seems to be an important issue.

7           And, also I would like to reemphasize the effects  
8 or the possible effects of wet to dry, and to wet  
9 transitions, in particular on the composition and structure  
10 of the film. It may well be that the film will have a  
11 different composition, under dry as compared to wet  
12 conditions, and that even the structure may be different.  
13 And when we will have this transition, I think it will be  
14 important to know what changes we can expect during these  
15 transitions.

16           That's all I wanted to say.

17       BULLEN: Thank you.

18       SHIBATA: I'll just make comment on the effect of  
19 temperature on the kinetics of the passive film growth. I  
20 have done it using the electroscanning electrode and I follow  
21 the kinetics of the film growth from room temperature to 250.  
22 Of course, I used the oldgrave (phonetic) system--and I  
23 found--and then, there are the materials, iron, iron nickel  
24 and iron chromium, binary alloy, and a series of materials

1 are used. And, I found the logarithmic or inverse  
2 logarithmic type of film growth is observed from room  
3 temperature to the 150. Above the 150, the kinetics change  
4 to the usual--type parabolic law is observed. So, this is  
5 quite similar to the dry oxidation type. But, below 150, the  
6 inverse logarithmic type prevails. This is typically  
7 observed for iron system. Of course, iron chromium and iron-  
8 nickel is also the similar behavior. So, I think that in dry  
9 case also, the iron shows inverse logarithmic type near room  
10 temperature. If you increase the temperature, of course,  
11 these kinetics change to parabolic. I don't know exactly  
12 what temperature is changing the kinetics.

13           But, in the aqueous systems, I think that 150 is  
14 some critical temperature because the stress corrosion  
15 cracking or corrosion fatigues also very, very susceptible at  
16 150. So, I think that this is connected to the nature of the  
17 passive film formed on the surface. So, recovery of the  
18 repassivation is some effect of such kinds of cracking  
19 behavior. So, I believe that below 150, the extension of the  
20 room temperature behavior might be expected, but I'm not sure  
21 in the instance of Alloy-22. This is my comment on the  
22 effect of the temperature on the kinetics.

23           BULLEN: Thank you. Bullen, Board. Go right ahead?

24           STREHBLOW: I wanted to say some remark to the outlines

1 of Phillipe Marcus.

2 BULLEN: Oh, go right ahead, Professor Strehblow.

3 STREHBLOW: Is that too late or--

4 BULLEN: No, no. This is a roundtable discussion and we  
5 can all speak at any time. So, go right ahead?

6 STREHBLOW: Okay. I agree that we don't know anything  
7 about the structure because it has not been studied; for  
8 instance, with STM or AFM or whatever it is. But, the  
9 chemical composition of the films on, let's say, nickel at--  
10 20 chromium and nickel 34 chromium has been studied very  
11 intensively as a function of the potential, pH and time and  
12 these data are known from surface analysis, XPS studies. I  
13 didn't go into these data because that it is a whole story  
14 and I'm not prepared. But, roughly speaking, what you said,  
15 there is nickel in the film or not and how much and what is  
16 the film composition? Of course, it depends on the pH. If  
17 you are in a strongly acidic electrolyte, then the nickel is  
18 almost not there at the lower potentials and it enters at the  
19 higher potentials to some extent because then you have also  
20 the dissolution of chromium and you can play these games and  
21 you can follow that from a millisecond--we did studies from a  
22 milliseconds up to an hour passivation time. And, we know  
23 also the changes in that time range, not about years or  
24 something like that. But, in that time range and pH and

1 potential, we know what the film is and its structure of the  
2 hydroxide composition and the oxide underneath.

3       MARCUS: Yeah, Marcus. That's right, but in this alloy,  
4 in addition, we have molybdenum and tungsten. So, we would  
5 like to know how much. As we saw earlier this afternoon that  
6 according to the SSIMS data that there is molybdenum in the  
7 film, but these are not quantitative data. We don't know  
8 really the composition of the film. We know what is in and  
9 what is not in. But, I don't remember if there was some  
10 tungsten in it or not.

11       STREHBLow: There is molybdenum in the film. That's  
12 what I have seen. But, these are data of Schultzigán  
13 (phonetic) -- on hastaelloy C-4, but it's also not exactly  
14 the same alloy. If you are talking about Alloy-22 and  
15 nothing else, then you are right. But, if we are talking  
16 about nickel 20 chromium which is very close to that  
17 composition, then we know what the film is.

18       BULLEN: Alberto?

19       SAGÜÉS: Yes, a comment on Dr. Strehblow. I have no  
20 doubt that there are investigations that have looked at this  
21 in some detail, but I think that I'm correct in assuming that  
22 those are investigations that looked at relatively young  
23 films, maybe things that have been exposed to the  
24 environments for intervals of hours to days maybe. But, I

1 would be surprised if this knowledge extends to mature films  
2 that have been in situations resembling service for many  
3 years or is there some--

4       STREHBLOW: These are basic studies, of course, and  
5 these are specially prepared alloys which have been subjected  
6 to special conditions and not to service or to field-like  
7 conditions.

8       SAGÜÉS: One of the things that the project, the Yucca  
9 Mountain Project, is generating is now relatively well-  
10 characterized, specimens have been exposed for periods of  
11 years to relatively well-characterized environments. Of  
12 course, they have a different kind of finish and they're not  
13 single crystals. But, there may be an opportunity there to  
14 learn things that couldn't be found otherwise.

15       BULLEN: Bullen, Board. I had a follow up to Professor  
16 Shibata's comments and maybe they tie in again to what Susan  
17 Smialowska had said about the structure and the kinetics of  
18 the film and its mechanical properties. You mentioned that  
19 you saw sort of different kinetics that occurred below 150  
20 degrees C and you were concerned specifically about  
21 mechanical properties associated with the film as it grows.  
22 Would you have more confidence in a lower temperature if you  
23 never went above 80 degrees C during the operating phase of  
24 this? Would you expect to see perhaps better performance or

1 perhaps better understanding or more confidence in the  
2 understanding that you'd see, as opposed to going to 160 to  
3 220 degrees C? I'll ask Professor Shibata first, and then,  
4 Susan, if you could follow up, that would be great.

5 SHIBATA: This kind of technique, it just took a very,  
6 very short time and you cannot extend over this kind of  
7 behavior to the long-terms because of the very, very short  
8 time. But, even that kind of conditions, the kinetics  
9 changes at the critical temperature, so that I just  
10 confidence that the film growth kinetics is almost controlled  
11 by the passivity-like behavior below 150. And, of course,  
12 this is very much related to the mechanical behavior  
13 suggested by Ms. Smialowska. So, I think that the  
14 understandings of the amorphous nature or crystal nature of  
15 the structure of passive film as it depends on temperature is  
16 very important, I think.

17 BULLEN: Okay. Bullen, Board. Just to follow up on  
18 that. So, I guess the kinetics issue with respect to  
19 temperature is important, but if you had a longer period of  
20 time, would you expect to see similar types of changes in the  
21 mechanisms at lower temperature or you think it's actual  
22 fundamental mechanistic change? Susan, do you want to try  
23 that one?

24 SMIALOWSKA: Can you tell me what kind of material did

1 you study because it's, I guess--because it is very--this 150  
2 threshold, it is the change of the iron oxide from magnetite  
3 to hematite. So, of course, this might be because this, you  
4 have--

5 SHIBATA: Yes, I think that it's mainly the ion system.  
6 Yes.

7 SMIALOWSKA: Mainly this is because you change from one  
8 oxide film to another. So, it is nothing--

9 BULLEN: Not a good comparison?

10 SMIALOWSKA: Yeah.

11 BULLEN: Okay, thank you. But, with respect to your  
12 mechanical changes in the film, would you expect to see  
13 differences at different temperatures?

14 SMIALOWSKA: Let me think. Yes, I will. But, this is  
15 not how you can prove that you have mechanical changes. You  
16 can prove only when you keep the condition constant. It  
17 means rather high potential because, another way, you will  
18 not see nothing.

19 BULLEN: You won't see anything.

20 SMIALOWSKA: But, below this transpassive potential--so  
21 you have to do the experiments this way, that you have to be  
22 sure that you do experiments also to find what elements you  
23 have in the solution. Okay? To be sure that you have no  
24 transpassive dissolution. And, if you will take this kind of

1 potential, then, of course, the time of aging should be much  
2 more shorter. And, if you will keep this for a long time, I  
3 expect that you will see some differences in the property of  
4 the passive film. Maybe, I am wrong, but I think you will.

5 BULLEN: Okay. Thanks. Dr. Kruger?

6 KRUGER: I have a question about these mechanical  
7 effects and I don't know the answer, but in these very thin  
8 films, you know, we're talking about 10 to, say, 20, 30  
9 nanometers. I've always thought that developing stresses in  
10 such thin films is a very difficult thing to do. That you  
11 really can't talk about mechanical effects in such thin  
12 films. I may be wrong, but certainly with thicker films--

13 SHIBATA: I think that such thin films, of course, some  
14 stresses are generated and, of course, if you increase the  
15 temperatures, there is more thick film, thicker films--

16 KRUGER: Thick films, yes, absolutely. But, thin films,  
17 I don't know. Maybe you can, but it seems to me that it's  
18 very difficult to develop stresses in such thin films.

19 SMIALOWSKA: It will be difficult, but not impossible.  
20 Let's put it this way. The film which is flexible and not  
21 very--which will not go to very easy mechanical breakdown,  
22 there will be film which is hydrated. If you have this  
23 other, this hydrite layer on the oxide film--it would be  
24 double layer--then it will be much more difficult. But, when

1 you are doing the experiments at a higher potential, the  
2 hydration is much less--and you will have just oxide only.  
3 And, in oxide, this mechanical breakdown could go much  
4 easier. So, if you will prepare, for example, oxide film  
5 using just high temperature oxidation. Yes? And then, put  
6 to the solution, then you have breakdown of the film, at  
7 once. Very easy.

8 KRUGER: Well, easy to get stresses and--

9 SMIALOWSKA: Yes. But, it is not necessary to have very  
10 --thick oxide film.

11 KRUGER: But, oxide films formed in aqueous solutions by  
12 electrochemical means are different than--

13 SMIALOWSKA: Yeah, it's completely different. I think  
14 it is possible to check this, you know. It might be just  
15 that nothing would happen, but this a rather easy experiment  
16 and so why not check?

17 KRUGER: Some experiments have been done, incidentally,  
18 many, many years ago by Vermillier, but looking at rather  
19 thicker film.

20 SMIALOWSKA: I don't remember Vermillier, but he did  
21 experiments--

22 KRUGER: And, Leach also did some.

23 SMIALOWSKA: Yeah, but he make experiments on the  
24 passive film, anodic films.

1           KRUGER: Thick films, yes, yes, anodic films on  
2 aluminum, titanium, things like that.

3           BULLEN: Okay. Dr. Strehblow?

4           STREHBLOW: It seems to me that this discussion is also  
5 showing the two opinions of a more simpler homogeneous film  
6 concept which has been used up to, let's say, five years ago  
7 and the further information about atomic resolution methods  
8 which show the details of such a film. Very often, you have  
9 stresses, let's say, between crystalline film and its  
10 substrate because the fit is not, at all, good and then the  
11 system reacts by faceting. We have studied this with  
12 Phillipe Marcus on the oxide film on copper, but he has also  
13 studied this with other systems. The situation was such  
14 that, let's say, in the case of the copper oxide, the  
15 epitaxial relationship between the copper 1 oxide and the  
16 copper metal substrate on a 1-1-1 orientation of a single  
17 crystal was not, at all, perfect. And then, the system  
18 reacts by a very interesting and nice-looking efaceting and  
19 so it overcomes this stress. If you have a stress, then  
20 perhaps you have faceting or slipping steps and so forth.  
21 And, if you study these systems and if this has been perhaps  
22 done with these methods for all these various systems which  
23 are of interest to this audience, then you might get an  
24 answer and further insight.

1 SMIALOWSKA: But, you know, I do not think that it is  
2 such a big difference between these different points of view  
3 how to study because, of course, when you are studying  
4 something in atomistic scale, then it's fine. You'll know  
5 what is going on exactly. Then, when you are doing these in  
6 microscopic scale, then you have many of these events on the  
7 forces and you measure some kind of film. Okay?

8 STREHBLOW: I didn't want to say that you should do one  
9 thing and not do the other. You should both and both  
10 concepts are not wrong, they are constructive to each other.  
11 That's what I wanted to say.

12 SMIALOWSKA: That's okay.

13 BULLEN: Thank you. Gustavo, did you have a comment?

14 CRAGNOLINO: It was only a clarification to the comment  
15 of Jerry Kruger. The experiment that he was referring to was  
16 Bupar (phonetic) and Vermillier was experiments done with  
17 films of the order of few nanometers in aluminum and other  
18 metals and tantalum--to try to discover what of the film were  
19 brittle or ductile, but subject to microscopic deformations.  
20 I mean, I think that the regime that we have to discuss  
21 here, in some way, is a different type of regime, a much more  
22 lower stress level and other --.

23 KRUGER: That's my point actually. I wasn't saying  
24 there were not stresses. I was just posing the question.

1           NEWMAN: May I just say something?

2           BULLEN: Roger, go right ahead?

3           NEWMAN: Roger Newman. Also in that Bupar and  
4 Vermillier (phonetic) paper, they found that when you anodize  
5 tantalum and you pull it, the film changes color (laughter)  
6 and it goes thinner. Remember that? That's one of the  
7 observations that have never been explained by anybody.

8           BULLEN: Bullen, Board. Does it turn blue?

9           NEWMAN: It depends.

10          BULLEN: Oh, okay. Thank you.

11                    We still have one member of the panel to hear from  
12 and that's Digby MacDonald. He sat at the wrong end of the  
13 table after lunch. So, he gets the final say of the go-  
14 around. You can take out your viewgraphs now. So, Digby,  
15 can you give us your summary?

16          MACDONALD: I want to address the first question because  
17 I knew it was an important question. I actually did some  
18 calculations on it.

19                    I showed you this morning by using a point defect  
20 model and a mixed potential model, you can predict the  
21 corrosion potential. So, the question is then what can I do  
22 to the oxygen reduction reaction in order to get the  
23 corrosion potential to exceed the potential for transpassive  
24 dissolution? Is there anything I can do?

1           Well, I can change the partial pressure of oxygen  
2 that will change the concentration of oxygen. And, by the  
3 way, this model assumes a very thin electrolyte film of  
4 saturated sodium chloride on the surface and it takes into  
5 account salting in and salting out and all those nice  
6 effects.

7           Well, the model also predicts the transpassive  
8 dissolution behavior. Let me just show you this one which I  
9 calculated current voltage curves as a function of pH. This  
10 branch up here is hydrogen evolution. This branch down here  
11 is oxygen reduction. Here is the passive current, here.  
12 Then, the model predicts that there's a sudden jump at this  
13 potential here which corresponds to the potential at which  
14 the oxidation state of chromium changes from 3 to 6,  
15 corresponding to dissolution as the chromate species. So,  
16 the question then is what can I do to the oxygen reduction  
17 reaction that will displace the potential of the -- ?

18           And, the origin of that effect also comes out of  
19 the point defect model. What happens when you change the  
20 oxidation state from 3 to 6, the model literally predicts the  
21 film disappears or becomes very thin. Okay? There's a  
22 sudden decrease in the thickness of the film. So, now, the  
23 potential just below that which is distributed across the  
24 film now becomes distributed across the interface where it

1 affects a dissolution reaction. That's why there's a sudden  
2 increase in the rate of the dissolution reaction.

3           Well, it turns out that in order to displace the  
4 potential above the transition to the transpassive state, you  
5 need a partial pressure of oxygen somewhere between 100 and  
6 1,000 atmospheres. That's the prediction. Okay? And,  
7 obviously, you're not going to have that. Okay? So, that  
8 doesn't seem to be likely.

9           There is, however, another possible way of doing  
10 this and that is what if you introduce something to the  
11 exchange current density? Is it possible to do that? And,  
12 unfortunately, I didn't bring those calculations with me.  
13 But, the answer to that question is no. There's nothing that  
14 I can conceive of doing to the exchange current density that  
15 would raise the exchange current density by the many orders  
16 of magnitude necessary in order to displace the potential  
17 above that transpassive potential. You have to go up 6, 7, 8  
18 orders of magnitude. And so, I did those calculations for  
19 the specific reason that there are small concentrations of  
20 lead and mercury, but in particular lead, in this water.  
21 And, it's well-known in electro catalysis, that small  
22 crystallites of lead oxide on a surface is a quite good  
23 electro catalyst for the oxygen reduction reaction. But,  
24 even recognizing that, you'd have to move the exchange

1 current density for oxygen reduction too much in order to get  
2 the potential above.

3           So, my personal opinion is that transition to the  
4 transpassive state is probably highly unlikely.

5           BULLEN: Allison?

6           DAVENPORT: Davenport. Digby, did you consider the  
7 transpassive dissolution of molybdenum?

8           MACDONALD: No. No, this is just purely chromium.

9           DAVENPORT: How much lower might that be? Do you have  
10 any feel for that?

11          MACDONALD: That's a good question and, in fact, I could  
12 put that in. In calculating the potential at which the  
13 transpassive dissolution process starts, I assume that  
14 chromate is in equilibrium with chromic oxide. Because you  
15 need a chromate activity in the thin oxide--in the thin  
16 liquid film in order to calculate the equilibrium potential.  
17 So, I assumed that there is equilibrium between chromate  
18 species and chromic oxide and oxygen in the air. From that,  
19 I can calculate the equilibrium potential and then applying  
20 the second law of thermodynamics, of course, potential has to  
21 be above that equilibrium potential in order to get  
22 dissolution.

23           And, one last thing, if I can, Allison, before I--  
24 this plot here, we have good reason to believe that the

1 calculated thickness of the barrier layer should extrapolate  
2 back to the equilibrium potential; in this case the chromium/  
3 chromic oxide equilibrium potential for the prevailing  
4 conditions. We found that that holds true for zinc and it  
5 appears to hold true for iron. In other words, for iron, if  
6 you measure the thickness of the passive film, it seems to  
7 extrapolate back to something that's close to the equilibrium  
8 potential for iron magnetite. And, certainly, zinc, that  
9 works very well. It extrapolates back to zinc, zinc oxide.  
10 Oh, and also for tungsten.

11 KRUGER: Looking at the Pourbaix diagram for chromium  
12 and molybdenum, you find that the potential where molybdenum  
13 becomes soluble is much, much lower.

14 MACDONALD: Is much lower, right. Right.

15 DAVENPORT: And, the other comment following up on that  
16 is you can also get transpassive dissolution of chromium when  
17 you've just got a little bit of band bending at the surface  
18 to produce just a little bit of chrome 6 actually at the  
19 surface layer.

20 MACDONALD: Yeah. Yeah, you know, this is sort of a  
21 semi-equilibrium argument. And, you could also argue that  
22 because you've got an inhomogeneous surface, there might be  
23 parts of the surface that have a different equilibrium  
24 potential for the chromic-oxide-chromate reaction than other

1 parts of the surface. So, you know, this is a first order  
2 approach to that.

3 BULLEN: Roger and then Susan, please?

4 NEWMAN: Roger Newman. I guess, you weren't considering  
5 peroxide, right, because that would completely change the  
6 picture?

7 MACDONALD: Well, you could put peroxide--in fact, this  
8 model, its genesis goes all the way back to the model  
9 developed for calculating corrosion potentials in nuclear  
10 reactors, where, in fact, you do have hydrogen peroxide and  
11 the whole slew of radiolysis products. And, yeah, you know,  
12 the hydrogen peroxide question is a very interesting one,  
13 although I haven't done the calculation. Hydrogen peroxide  
14 being a much stronger oxidizing agent than oxygen, having a  
15 much more positive standard potential. It conceivably could  
16 shift the potential up. The only problem I have with it is  
17 that the decomposition of hydrogen peroxide is catalyzed by  
18 transition metal ions and it's catalyzed very strongly. So,  
19 you know, whether you could get a significant  
20 concentration of hydrogen peroxide in that thin liquid film  
21 is problematic

22 --

23 NEWMAN: Some of the transition metal ions, because they  
24 would be complexed by fluoride in this environment, I think

1 would be inactive for--I think fluoride is a stabilizer of  
2 peroxide.

3       MACDONALD: It could very well be. I think you'd need  
4 to get the concentration of--I'm just guessing at this point  
5 because I haven't done the calculation--but, I think you'd  
6 need to get the concentration of hydrogen peroxide up to  
7 well-above one molar.

8       NEWMAN: Well, I can tell you that at pH 11 and with 200  
9 parts per million peroxide, stainless steel goes blue  
10 (laughter).

11       MACDONALD: Okay.

12       BULLEN: Susan, do you have a comment?

13       SMIALOWSKA: I wanted to ask you did you measure the  
14 exchange current density for all your experiments?

15       MACDONALD: No, we've taken values that we had measured  
16 previously on stainless steels. However, I do have in that  
17 pile of slides--and I'm sure you don't want to see it--data  
18 from Moscow. Part of the program--this is the NERI program,  
19 the Nuclear Energy Research Initiative program which is the  
20 other half of what I did. This model here was developed for  
21 Jerry Gordon and his folks. But, the NERI program is a joint  
22 effort between SRI International, me, and George Engelhard  
23 who is now at OLI Systems and also the Frumkin Institute of  
24 the Russian Academy of Sciences. A lot of experimental data

1 are being measured in Moscow on C-22 and we actually have now  
2 quite a body of data on the kinetics of oxygen reduction,  
3 hydrogen evolution, and--

4 SMIALOWSKA: They measured the exchange current density  
5 for all these temperatures and--at partial pressure of  
6 oxygen?

7 MACDONALD: Right. And, hopefully, by the end of that  
8 program, you know, we'll have a significant database for  
9 that.

10 BULLEN: Gustavo?

11 CRAGNOLINO: Could you put back the plot that you have  
12 the thickness of the barrier layer?

13 MACDONALD: Thickness of the barrier layer?

14 CRAGNOLINO: Yes. I was surprised about the number, but  
15 I don't see well from here.

16 MACDONALD: Okay. This is 20 angstroms here.

17 SMIALOWSKA: 20 to 50.

18 BULLEN: Digby, before you leave, I actually have to  
19 call upon someone in the audience. Somebody from the  
20 University of Western Ontario, please, stand up back there,  
21 David Shoemith, and maybe address a couple of issues.  
22 First, maybe the hydrogen peroxide issue, and secondly, maybe  
23 you could resolve some of the issues with respect to the ions  
24 that were identified in the Simms work? I mean, that was one

1 of the questions that was raised.

2       SHOESMITH: Okay, yeah, sure.

3       BULLEN: Go ahead and address both, please. Identify  
4 yourself, too.

5       SHOESMITH: Yeah, I'm Dave Shoesmith from the University  
6 of Western Ontario, but I should confess also that I'm a  
7 consultant to the Yucca Mountain program so that you know  
8 where I'm coming from.

9           I just wanted to address the issue that's come up  
10 over radiolysis or radiation effects. We have reviewed that.  
11 It's been studied well on many materials in many different  
12 countries; Germany, Canada, Switzerland, Sweden, and the  
13 United States. It's not proven to be a particularly large  
14 effect. The dose rate level at which it was found to be  
15 effective on a reactive material like carbon steel was about  
16 300 rad an hour and that was George Marsh in England. The  
17 present expected dose rate on the waste container for Yucca  
18 Mountain is about 1400 rad an hour at which level you should  
19 see no effect on passive materials based on the evidence from  
20 stainless steel, titanium, and some nickel alloys. The  
21 approximate half life is roughly about 50 to 75 years which  
22 means it should go down by a factor of 2 in less than 100  
23 years. So, over a few hundred years, this should decay to  
24 effectively an insignificant level.

1           To put that into context with hydrogen peroxide, a  
2 dose rate of  $10^4$  rad an hour, which is approximately what you  
3 expect on this container, the models would predict about  $10^{-5}$   
4 or less moles per liter of hydrogen peroxide. So, it should  
5 go down from that level even if you wet the waste container  
6 in the beginning. Now, people have tried to simulate the  
7 radiation effect by adding hydrogen peroxide to experiments  
8 with passive materials and the only time they could find a  
9 shift in the corrosion potential to a more positive value is  
10 if they went to  $10^{-1}$  moles per liter which is somewhere  
11 between  $10^6$  and  $10^7$  rad per hour equivalent dose rate. So, I  
12 don't think that there is a reason to believe that there will  
13 be significant hydrogen peroxide concentrations from  
14 radiation dose fields.

15       MACDONALD: If for some reason you had a G value,  
16 radiolytic yield value, that could give you a high  
17 concentration, I think the decomposition reaction would--

18       SHOESMITH: That's a good point. We studied in real  
19 detail on fuel because when you get inside the waste  
20 container, the radiation effect becomes more important.  
21 Where we're having a real problem is the models predict if  
22 you take a G value of 1, which is what the model would give  
23 you, all our experiments will tell us that all we can measure  
24 is something which is 2 orders of magnitude less than that.

1 We attribute most of that to a decomposition process which  
2 may be catalyzed by all the impurities which exist in your  
3 solution by glass surfaces, by all the properties of the  
4 surface itself. So, I'm having a real problem finding that  
5 the radiation dose rate effect is significant even at the  
6 model prediction level. It appears to be well-below that.

7 BULLEN: Roger Newman, go ahead?

8 NEWMAN: I'm sure your numbers were correct there, but I  
9 can certainly assert, if that's the right word, that one part  
10 per million hydrogen peroxide will significantly ennoble the  
11 open circuit potential of stainless steel in a whole variety  
12 of oxygenated solutions. So, I'm not sure where that  $10^{-1}$   
13 moles per liter comes from. That doesn't sound right to me.

14 SHOESMITH: Well, this comes from work by George Marsh  
15 and Bob Glass, both on stainless steel, who saw no effect on  
16 the corrosion potential at those high concentrations.

17 NEWMAN: Well, I mean, it's well-known in a variety of  
18 industrial contexts that once the hydrogen peroxide  
19 concentration gets to a few parts per million that it will  
20 dominate oxygen as the main thing determining the corrosion  
21 potential. Now, whether it goes transpassive, I--

22 SHOESMITH: Well, I have to argue with you, Roger,  
23 because we see exactly the opposite effect on uranium dioxide  
24 where the decomposition of the hydrogen peroxide leads to

1 oxygen being the oxidant, not hydrogen peroxide. The oxidant  
2 dominates in that particular case. Now, that is a catalytic  
3 surface for decomposition of peroxide.

4           I just wanted to also address the point about the  
5 blue film. You can see that on titanium in hydrogen peroxide  
6 roughly around the 200ppm that you mentioned and there is an  
7 enhancement of corrosion rate which is roughly a factor of 2  
8 to 3 in that particular case over the short term. In the  
9 long term, they tended to accumulate salts in the porous  
10 deposits which tended to block the corrosion of the titanium.

11         NEWMAN: Well, the reason is completely different in  
12 that case. In the case of titanium, the peroxide, if that's  
13 the right word, the hydrogen peroxide anion,  $\text{HO}_2^-$ , is  
14 complexant. It forms a stable, soluble complex with  
15 titanium. So, that's a different effect from something which  
16 is due to the peroxide acting as an oxidant on the corrosion  
17 process. But, I guess I'll just have to agree to disagree  
18 with you and suggest that we go and do the experiment because  
19 I think my colleagues in a certain large British-Dutch  
20 company that makes soap powder would strongly disagree with  
21 any assertion that low levels of peroxide don't affect the  
22 corrosion potential.

23         SHOESMITH: Is the difference between us the pH? Are  
24 you talking extremely alkaline solution?

1           NEWMAN: This is mainly in the high pH environments,  
2 yeah.

3           SHOESMITH: Okay.

4           NEWMAN: And the blue stainless steel is--that only  
5 happens in high pH environment.

6           SHOESMITH: Yeah. Most of these observations are from  
7 pH 10 down that I'm talking about.

8           NEWMAN: Well, yeah, it could be quite critical as to  
9 what the pH is, but I think a little competitive experiment  
10 would be in order there (laughter).

11          SHOESMITH: I just wanted to address also the issue of  
12 the deposition of radiation energy directly in the oxide  
13 film. There is a difference between light and gamma  
14 radiation. It's about three orders of magnitude difference  
15 in energy. So that the efficiency you get for depositing the  
16 energy from light to form hole-electron pairs is quite  
17 efficient. For gamma radiation, it's orders of magnitude  
18 less efficient because the energy is too high to deposit as  
19 it goes through the thin film. We think we see this on  
20 uranium dioxide. We can't be certain. Which means that you  
21 need a much higher gamma dose rate to see the production of  
22 hole-electron pairs than you do a light intensity.

23          BULLEN: Thank you, David. Gustavo had a question or a  
24 comment. Go ahead?

1 CRAGNOLINO: I have a comment on the dilution data that  
2 is reported by precisely the DOE regarding this issue of the  
3 additional hydrogen peroxide. In what is called in the table  
4 that Jerry Gordon presented before, the saturated, no, the  
5 simulated concentrated water at 25 degree, the corrosion  
6 potential increased from -230 to -40 millivolt in the silver  
7 silver chloride scale is -275 to -85 in calomel with the  
8 addition of 72 part per million of hydrogen peroxide.

9 SHOESMITH: I was unaware of that result.

10 CRAGNOLINO: And, in the acidified condition, that is  
11 because there was this question of low pH, they increased  
12 from -80 to 150. In the silver silver chloride-- means -125  
13 to 105 in the calomel that we are more familiar with. 345  
14 millivolt difference in between the two scales with the same  
15 addition of 72ppm. We have measured these using precisely  
16 long ago the effect on Alloy-825 by using 5ppm. That was the  
17 number that came from the Glass and Konynenbeurg calculation,  
18 and we got increase of about 200 millivolt, roughly, of  
19 these.

20 SHOESMITH: That's really at odds with other published  
21 numbers.

22 CRAGNOLINO: Yeah. This is what--to put in context  
23 this, the problem is that is it going to be a stable hydrogen  
24 peroxide peroxide system or, as Digby suggests, is it going

1 to decompose? And I think that this is what we never able to  
2 sustain this value for a long period of time.

3       NEWMAN: --oxide by decomposition. I remember there was  
4 something about one of those studies. I don't remember  
5 whether it was the Marsh one or the Glass one, which was a  
6 little fishy, and I would have to look that up. Am I allowed  
7 to use the word "fishy" in this?

8       SHOESMITH: Ariani's data showed that the effect of 10  
9 to the 6th rad an hour improved the passivity on titanium.

10       BULLEN: Thank you, Dr. Shosmith.

11               Alberto, did you have a few questions?

12       SAGÜÉS: I have a question, two questions for Digby.  
13 The second one applies to just about everyone. The first one  
14 is specific to the point defect model projections, which by  
15 the way, some of us are very glad to see that the project  
16 indeed is making attempts to obtain quantitative treatment,  
17 although we all know like in any other model, there are items  
18 open to discussion and interpretation. But, Digby, in the  
19 most recent calculations that you showed, what kind of steady  
20 state passive current densities is the model predicting?  
21 Like in this one, they were using it to look at the  
22 transition.

23       MACDONALD: Well, I actually fit the current density to  
24 experimental values--

1 SAGÜÉS: I guess they cannot hear you.

2 MACDONALD: I actually fit the model to the current  
3 density. So, you know, it's not fair to use the model to  
4 predict the current density.

5 SAGÜÉS: Okay. So then you're taking experimentally--

6 MACDONALD: Even I'm not that blatant.

7 SAGÜÉS: So you're assuming then current densities. Of  
8 which order are those?

9 MACDONALD:  $10$  to the minus 8 amps per centimeter  
10 squared at room temperature.

11 SAGÜÉS: Okay.

12 MACDONALD: About 5 times  $10$  to the minus 8 at 120 C.

13 SAGÜÉS: So those are fairly high passive current  
14 densities compared to the ones that may an order of magnitude  
15 greater.

16 MACDONALD: Well, this is pH 3. But pH doesn't seem to  
17 make a heck of lot of difference.

18 SAGÜÉS: pH doesn't seem to make too much of a  
19 difference. What I'm saying is that that may pull down your  
20 open circuit potential, and I'm wondering if that would  
21 affect the point at which your transpassivity would kick in.  
22 Because if you have a much leaner passive current, that  
23 would work together with the oxygen couple and send the  
24 potential higher up; right?

1           MACDONALD: If it's much lower, it will cause a small,  
2 relatively small shift in the corrosion potential in the  
3 positive direction.

4           SAGÜÉS: Okay. The second question is something that  
5 you and I have discussed on a one on one basis like a couple  
6 of years ago. But I think that it is very important to the  
7 overall question of long-term extrapolation. And I don't  
8 know, my personal impression is that if someone would tell  
9 me, would show me a piece of naturally existing material from  
10 a meteorite or maybe an artifact where someone, say, 5000  
11 years ago by mistake cast a chromium iron alloy and it would  
12 show us this shiny piece of material that happened to have  
13 been exposed to a moist environment, not in an Egyptian tomb  
14 where everything is nice and dry, and say, hey, this thing is  
15 passive, look, we're looking at it and, darn it, here is a  
16 5000 year old or a 50,000 year old or a 5 million year old  
17 passive layer, and this is what has been, you know, on top of  
18 it we have some blue stuff, and so on and so on. Well, I  
19 think that that would change, at least for some of us, that  
20 would change dramatically the nature of the question of using  
21 a passive material for very long-term engineering  
22 applications.

23                       And the question that I'm asking you is can you  
24 think of anything that has been passive for a very long

1 period of time, beyond the 100 years or so time frame that we  
2 could use? And I think that a couple of years ago, you  
3 mentioned something that many people wouldn't think that was  
4 perhaps passive material. We're talking about, for example,  
5 iron corroding in a regular moist environment.

6       MACDONALD: Well, I mean, there's that famous needle  
7 structure in India; right? What's that called? That has an  
8 exceptionally low corrosion rate. I would say that's--and  
9 that's been around for a few hundred years.

10       SAGÜÉS: Although one could argue that that's actually  
11 very slow active corrosion in the active regime, and not  
12 necessarily passive.

13       MACDONALD: One could maybe debate that point. You  
14 know, unfortunately, we don't have native chromium around.  
15 Chromium is too active. I'm not even sure where there's any  
16 native nickel. Is there native nickel around?

17       SAGÜÉS: There are iron/nickel alloys naturally  
18 occurring. It's called Josephinite. And that material is  
19 available as the native alloy. Whether that is present in  
20 the natural environment in a passive state, or it has been in  
21 a state of very low active dissolution, is another question.  
22 And that's something that is being investigated by a number  
23 of -- or by a few people right now.

24               But what I wanted to ask you specifically, and also

1 I would like to ask if there is any member of the panel here  
2 who may have an inkling of something that may have remained  
3 passive for extremely long periods of time.

4       MACDONALD: Okay, let me see if I can answer that as  
5 follows. In many situations, the passive film on a metal is  
6 in a metastable state. And you can see that from the  
7 Pourbaix diagram. In fact, it's in your explanation of  
8 Faraday's famous experiment. In about 1830, or sometime,  
9 Faraday carried out his famous experiment of placing a piece  
10 of iron in nitric acid and finding that it didn't dissolve,  
11 and then--in concentrated nitric acid--, repeated the  
12 experiment, and I actually looked it up in an encyclopedia,  
13 by the way, and he put the same piece of iron in dilute  
14 nitric acid, and it dissolved.

15               And, of course, the concept of acids had only  
16 recently have been developed, and he didn't have a pH meter  
17 or didn't have a reference electrode or anything like that,  
18 so he made a guess that the surface had been oxidized. Okay?  
19 But what he didn't know, and of course this had to wait  
20 until Marcelle Pourbaix created his potential pH diagrams,  
21 and I'll draw it for iron, we commonly label this as the  
22 stability region of iron, and this as the stability region of  
23 magnetite,  $\text{Fe}_2\text{O}_3$ , and even now you'll see people saying, aha,  
24 this is the potential, this is the pH. Aha, we've got a

1 point here, it's active dissolution. Well, that, of course,  
2 is not true, because Faraday was actually up here somewhere  
3 in the concentrated nitric acid, and it didn't dissolve.

4           And the reason for that is that if you extrapolate  
5 this line here, that extrapolation of the iron/magnetite line  
6 into this stability region gives you the condition for the  
7 formation of magnetite as a metastable phase on the surface.  
8 Provided you're at a potential above this dotted line,  
9 magnetite can form as a metastable phase. Okay? Whether it  
10 does form or not depends upon the kinetics; the rate of  
11 formation versus the rate of dissolution. And that's where a  
12 lot of our passive materials operate. They operate with  
13 metastable passive film.

14           So, you know, passivity is a somewhat tenuous  
15 phenomenon, looked at that way, but nevertheless, it appears  
16 to be quite effective for many systems.

17           NEWMAN: You're sure it's not the second line?

18           MACDONALD: I'm sorry?

19           STREHBLOW: Shouldn't it be the stability between the  
20 formation of iron 3 oxide gamma Fe<sub>2</sub>O<sub>3</sub> from magnetite, which  
21 is then causing the metastable situation?

22           MACDONALD: Yeah, if I extrapolate this line here--

23           STREHBLOW: I think the Pourbaix diagrams in this regard  
24 are even misleading, because, Digby, because it is a question

1 of kinetic stability, and not of thermodynamic stability.

2       MACDONALD: Oh, no, it's metastability.

3       STREHBLOW: You call it metastable. I would call it  
4 kinetic stability because of dissolution rate or transfer  
5 rate of cations into the electrolyte is so extremely slow.

6       MACDONALD: The correct term is metastability. It's a  
7 metastable film. Okay? And if the rate of dissolution is  
8 high enough the phase disappears, passivity disappears.

9       STREHBLOW: Magnetite will dissolve immediately, and I  
10 think this goes back way in the Fifties, that Fetta  
11 (phonetic) tried to find even the magnetite formation by  
12 transient measurements, and he was not successful because  
13 FE304 is dissolving immediately.

14       MACDONALD: The rate of dissolution of magnetite has  
15 been measured under these circumstances, and it's on the  
16 order of about .01 angstroms per hour. And at the same time,  
17 of course, you're forming magnetite at the metal/film  
18 interface. And so the magnetite layer moves into the metal.

19       STREHBLOW: It is there, and then FE304, you have to--  
20 you need it, otherwise you would dissolve the whole thing,  
21 and then you have active dissolution.

22       MACDONALD: No, it's a metastable film.

23       BULLEN: Bullen, Board. We could actually--Susan, do  
24 you want to comment?

1 SMIALOWSKA: I would like to say that if you would like  
2 to have the metal with good oxide film take tantalum. You  
3 will not have dissolution in acid, not dissolution in  
4 neutral, not dissolution in alkaline.

5 BULLEN: Okay.

6 MACDONALD: But the point I want to make is that, you  
7 know, this is the region where the film is thermodynamically  
8 stable. It doesn't necessarily mean it will produce a  
9 passive surface, because passivity is a kinetic term. Okay?  
10 It describes a kinetic situation. It doesn't describe a  
11 thermodynamic situation.

12 And, of course, you are able to use iron based  
13 alloys, chromium based alloys under conditions where the  
14 oxide is not thermodynamically stable, because it forms as a  
15 metastable phase. And that led to my remark that passivity  
16 is a somewhat tenuous phenomenon, but it seems to be very  
17 effective. After all, we have a metals based civilization.

18 SAGÜÉS: Yes. Well, the society is going to have to  
19 make the decision as to how tenuous this type of phenomenon  
20 is, because it's a tremendously important decision that would  
21 affect our energy future. And one of the reasons we're  
22 having this meeting is partly to establish how tenuous and  
23 how useful, even if it is tenuous, it may be. I appreciate  
24 your comments.

1           BULLEN: Dr. Davenport had one small one she said,  
2 small.

3           DAVENPORT: I just don't think we should get too carried  
4 away with Pourbaix diagrams and thermodynamics here, because  
5 if we look at the passive film on iron, the stuff that we've  
6 done show that it isn't, you know, hematite or magnetite, as  
7 you've shown there, it's a different phase. So I think we  
8 should take all of this with a bit of a pinch of salt, and I  
9 think we should--

10          MACDONALD: But the principle is correct.

11          DAVENPORT: Yeah. But I think that what's going to  
12 really affect things is the dissolution of the films. We do  
13 have to look very carefully at the kinetics there.

14          MACDONALD: Yeah, but the principle is correct.  
15 Passivity is not a thermodynamic term. It's a kinetic term.  
16 It can occur because of a thermodynamically stable film, or  
17 a metastable film.

18          BULLEN: Alberto, did you have a brief comment?

19          SAGÜÉS: No.

20          BULLEN: Okay. Well, we may want to continue this over  
21 some fermented beverages a little later on this evening.

22                    But I would like to turn the microphone over to  
23 Professor Craig. And even though we have no one signed up  
24 for public comment, we still have to ask on the record if we

1 have public comment. And you can do it from your seat, or  
2 you can go to the podium, whichever you'd like. Paul?

3 CRAIG: There's something else I can do, however, prior  
4 to doing that.

5 BULLEN: Oh, go right ahead. I gave the meeting to you,  
6 Paul.

7 CRAIG: Since my hand was up, albeit not very far, a  
8 moment ago. By the way, do we have people who want to speak?  
9 Let's do that. Are there members of the public here who  
10 wish to speak?

11 (No response.)

12 CRAIG: All right. The formal part of the public is now  
13 completed. There are none. This means we have another 15  
14 minutes, so I'll make my--so we have 15 minutes to talk  
15 before we break.

16 BULLEN: You get ten.

17 CRAIG: And I want two of them.

18 I've been listening to this discussion all day, and  
19 I'm absolutely fascinated, and I perhaps understood 10  
20 percent, although in an examination, perhaps it would turn  
21 out to be only 5 percent. Nevertheless, I did have some  
22 impressions, and I want to express those impressions in the  
23 form of what will become a hypothesis, which perhaps you will  
24 challenge.

1           Dr. Sagüés gave two examples where he thought  
2 people would probably agree. One was on steel, and the other  
3 was on a noble metal in a Yucca Mountain type of oxidizing  
4 environment.

5           We've also heard from time to time about copper in  
6 a reducing environment, which is being proposed in Sweden,  
7 for example. And a nice thing about copper is it's  
8 thermodynamically stable and it exists in nature for periods  
9 in excess of a billion years.

10           During the conversation today, many, many questions  
11 and issues were raised about C-22. I did not see that there  
12 was a strong consensus that this is a material that passes a  
13 test as easily as the iron, noble metal and copper tests just  
14 mentioned. That didn't seem to be the case. Nor did I see  
15 clear guidelines for extrapolation. The kind of theoretical  
16 underpinnings that apply in copper didn't seem to emerge in  
17 the course of the conversation.

18           What did emerge was that issues, a number of, many  
19 different mechanisms, some proposed previously, some new ones  
20 that could cause problems, a clear statement that the  
21 chemical environment matters enormously, and the kinds of  
22 things that might build up on the surface might matter  
23 enormously. The cycling of various sorts might matter, and  
24 that there is an absolute necessity for consistent and superb

1 manufacturing, both of the material itself and for the  
2 fabrication of the welds.

3           Now, scientists will, of course, disagree about  
4 almost anything. That's one of the things that makes science  
5 fun. What we're concerned about is when the differences  
6 really matter. And the hypothesis that I want to lay out is  
7 the differences that we heard about today are at a level of  
8 significance that it's not clear to me that the optimistic  
9 conclusions that Gerry Gordon laid out in the slide that he  
10 showed you, which was from a presentation to this Board a  
11 couple of months ago, that those observations and the  
12 confidence associated with those observations is consistent  
13 with the message which I'm hearing from this panel. My  
14 hypothesis is that in fact those conclusions are not  
15 consistent with the message that's coming out of this panel.

16           Perhaps I'm wrong in this, but in any event, this  
17 is a hypothesis that we can perhaps discuss at some point.

18       BULLEN: Thank you, Paul.

19           Any members of the panel want to respond to Paul's  
20 comments? Dr. Davenport?

21       DAVENPORT: Yes, you may be getting an overly  
22 pessimistic view from today's discussions, because  
23 effectively, what we've been charged with is coming up with  
24 possible ideas to suggest what could conceivably go wrong.

1 And so I think we're not--I mean, I think Roger made the  
2 point that he wouldn't mind having one in his back yard, but  
3 here are a few things that might go wrong. And I think that  
4 may sum up a lot of our attitudes here. So you may be  
5 getting an overly pessimistic view, because we're trying to  
6 be a bit creative in coming up with ideas about what might go  
7 wrong.

8       MACDONALD: And I'd just like to add that I think the  
9 prediction business is in better shape than what you probably  
10 would have concluded from today's discussion. I mean, we  
11 have been able to predict, you know, corrosion damage in  
12 nuclear reactors and the heat transport circuits quite  
13 accurately.

14       CRAIG: There have also been quite a few surprises in  
15 the nuclear reactor metals business.

16       MACDONALD: Yeah, that's because they don't use our  
17 methods.

18       BULLEN: Alberto, do you have a comment?

19       SAGÜÉS: Digby, I think that your statement that you  
20 have been able to predict the damage quite accurately is well  
21 substantiated. You have a verified prediction. What you  
22 indicated about being able to predict quite accurately the  
23 damage evolution in nuclear reactors is well substantiated.  
24 The difference between that and the task that we have, that

1 the project has at hand, is I think one of time frames. We  
2 are talking in your case about predictions in a time frame  
3 which is in the order of years or decades, and a time frame  
4 that permits verification of the prediction, contrasting the  
5 predictions. We're talking here, however, about a time frame  
6 of unprecedented magnitude, and that I think is the part that  
7 demands more caution.

8           MACDONALD: Let me just put that up again. Okay? Where  
9 I see the greatest, probably the greatest problem at the  
10 moment, is specifying the future conditions.

11           I went out to Livermore and listened to some very  
12 fine scientists, geologists and geochemists talking about the  
13 conditions that will exist within Yucca Mountain. And, you  
14 know, those conditions are calculated on the basis of very  
15 large models, very sophisticated and complex models. But I'm  
16 just unsure as to how accurately you can actually predict the  
17 conditions.

18           Now, what is heartening in this whole thing is that  
19 the corrosion rate is only weakly dependent upon a number of  
20 parameters. Okay? Potential and pH, in particular, and  
21 temperature. So, provided that weakness in those  
22 dependencies remains, then we can probably withstand  
23 considerable uncertainty in the exact path that the  
24 repository is going to evolve along, and come out with a

1 reasonable prediction.

2           So, that's where I see one of the major problems.  
3 It's in this one, the last bullet here, that the path to the  
4 future state is continuous and can be specified. That's an  
5 absolutely essential caveat on deterministic prediction of  
6 anything.

7           BULLEN: Roger?

8           NEWMAN: Are you sure you meant that corrosion is weakly  
9 dependent on different parameters? You're talking about  
10 general corrosion then?

11          MACDONALD: Yes, I'm sorry, I'm talking about general  
12 corrosion.

13          NEWMAN: Okay.

14          MACDONALD: But it's not even clear, and in fact in the  
15 NERI program, you know, we've been wrestling with the  
16 question how do we actually predict what form of corrosion is  
17 going to occur. And it's conceivable that over the lifetime  
18 of this repository, there might be various forms of corrosion  
19 occur at different times. And the question is how do you  
20 predict that path? That's a pretty tough thing to predict.

21          BULLEN: Do we have any more comments from the panel?  
22 And having no questions from the audience, I'd like to,  
23 before we close, express my appreciation to all the panel  
24 members for their patience and their preparation for this

1 meeting. Some of you traveled great distances to get here,  
2 and I realize that we're in a time zone that's probably put  
3 you at about 3:00 in the morning, and I do appreciate your  
4 ability to stay focused and to address the issues.

5           We will reconvene. We're going to recess right  
6 now. We will reconvene tomorrow morning at 8:30 to address  
7 question number two.

8           I want to tell the panel members that we are going  
9 to reconvene our panel at the same room we had breakfast this  
10 morning at 6 o'clock tonight. So, the panel has about 40  
11 minutes, and we will reconvene in the room we had breakfast  
12 this morning.

13           Thank you very much, and we'll see you tomorrow  
14 morning.

15           (Whereupon, the meeting was adjourned, to be  
16 reconvened at 8:30 a.m. on July 20, 2001.)

17

18

19

20

21

22

23

24

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11