

UNITED STATES

NUCLEAR WASTE TECHNICAL REVIEW BOARD

FALL 2001 BOARD MEETING

Tuesday, September 11, 2001

Holiday Inn Crowne Plaza
4255 South Paradise Road
Las Vegas, Nevada

BOARD MEMBERS PRESENT

Mr. John W. Arendt, Session Chair
Dr. Daniel B. Bullen
Dr. Norman Christensen
Dr. Jared L. Cohon, Chair, NWTRB
Dr. Paul P. Craig
Dr. Debra S. Knopman
Dr. Priscilla P. Nelson
Dr. Richard R. Parizek
Dr. Donald Runnells, Session Chair
Dr. Alberto A. Sagüés
Dr. Jeffrey J. Wong, Session Chair

SENIOR PROFESSIONAL STAFF

Dr. Carl Di Bella
Dr. Daniel Fehringner
Dr. Daniel Metlay
Dr. Leon Reiter
Dr. David Diodato
Dr. John Pye

NWTRB STAFF

Dr. William Barnard, Executive Director
Joyce Dory, Director of Administration
Karyn Severson, Director, External Affairs
Ayako Kurihara, Editor
Linda Hiatt, Management Analyst
Linda Coultry, Staff Assistant
Davonya Barnes, Staff Assistant

I N D E X

PAGE NO.

Introduction
 Jared Cohon, Chair, NWTRB. 321

Session Introduction
 Jeff Wong, Member, NWTRB 322

**U.S. Environmental Protection Agency (EPA)
 Yucca Mountain standards**
 Ken Czyscinski, EPA. 323

Plans for addressing key technical issues
 April Gil, YMSCO 367

Summary of Preliminary Site Suitability Evaluation
 Carol Hanlon, YMSCO. 386

Public Comments. 411

Update on science program
 Mark Peters, BSC/Los Alamos National Laboratory. 423

Summary of Supplemental Science and Performance Analyses
 Rob Howard, BSC. 486

Update on Nye County drilling program
 Dale Hammermeister, Nye County 523

Structural controls on flow
 Linda Lehman, Consultant to State of Nevada. 548

Public Comments. 565

Adjournment. 573

P R O C E E D I N G S

(8:30 a.m.)

1
2
3 COHON: Welcome to the meeting of the Nuclear Waste
4 Technical Review Board which we're holding under a pall, to
5 say the least. As you all know, the country has suffered a
6 national tragedy this morning, one that is still unfolding,
7 and it's not too much to say it's a national crisis. Lake
8 and I conferred this morning to decide whether we should go
9 ahead with the meeting, and obviously, we decided to do so.
10 The Federal Government is basically closed and that's, I
11 think, for security reasons to keep people out of buildings
12 in Washington. But, here we are and we can't go anywhere
13 because all the airports are closed. We decided to go ahead
14 with the meeting, anyhow.

15 We'll all be distracted, there's no question about
16 that. It will be perfectly understandable if some people
17 decide that during various times during the day they'd prefer
18 not to be in here and prefer to be elsewhere. In addition, I
19 for one have to keep my cell phone on because I also run a
20 research university in Pittsburgh. So, I have to be in
21 touch. So, interruptions by telephone will be perfectly
22 understandable today.

23 May I ask you all for a moment of silence in
24 respect to those who have died already and with our prayers
25 to those who are trying to handle this crisis. Please rise?

1 (Whereupon, a moment of silence.)

2 COHON: Thank you, very much.

3 This morning's session will be chaired by Jeff
4 Wong, Board Member. Jeff?

5 WONG: Good morning, everyone. Today is our second day
6 and we will begin the session with a presentation by the U.S.
7 EPA on their environmental protection standard for the Yucca
8 Mountain Repository. After that, we'll turn to preparations
9 by the DOE on possible site recommendation. We'll hear a
10 presentation regarding the response to key technical issues,
11 a summary of the preliminary site suitability evaluation, and
12 a presentation on the supplemental science and performance
13 analysis. Among those after that, we'll talk about or we'll
14 hear a regular update to the science program and then updates
15 on Nye County and on the Nevada funded studies talking about
16 --well, actually, look into the flow in the saturated zone
17 near Yucca Mountain.

18 This morning, Dr. Craig will be helping me with
19 keeping us on schedule, as he did so great yesterday, and I
20 don't want to ruin his reputation. So, with that, I'd like
21 to start.

22 Today, our first presentation will be by Ken
23 Czyscinski of the Radiation Protection Division of the U.S.
24 EPA and he'll provide us again with a presentation on the EPA
25 standard.

1 CZYSCINSKI: On behalf of the agency, I'd like to thank
2 the Board for the opportunity to come and talk about a rule
3 that's been a long time in the gestation. First of all, I'd
4 point to some introduction that you're well aware of. On
5 June 5th, we finalized the standard and the Nuclear
6 Regulatory Commission will implement our standard through
7 their implementing Regulation Part 63 which has just recently
8 been approved.

9 A little bit of history. In 1992, the WIPP Land
10 Withdrawal Act exempted Yucca Mountain from the EPA generic
11 standards, Part 191, that applied to geologic repositories.
12 Quickly thereafter, the Energy Policy Act directed us to set
13 standards specific to Yucca Mountain and no where else.
14 Establish a limit on individual dose as part of these
15 standards. In the process, we were to contract with the
16 National Academy of Sciences for them to provide technical
17 input, insight to us for use in developing these standards,
18 and directing us to make our standards as consistent with the
19 NAS findings and recommendations. In 1995, EPA received the
20 NAS report.

21 We, of course, followed the usual rulemaking
22 process. We had a public comment period, public hearings in
23 four different places. We received about 800 comments, 28
24 people testified, we had about 69 sets of written comments
25 that had most of those 800 comments within them.

1 The first part of my talk, I simply want to run
2 through the standard, itself. Then, I'd like to talk about
3 some specific aspects of the standard and give you a little
4 bit of the reasoning and rationales behind why we did what we
5 did. The standard is divided into two parts, the storage
6 standard, Subpart A, and Subpart B, the disposal standard
7 which has three substandards; the individual-protection
8 standard, the human-intrusion standard, and the groundwater
9 protection standard, and a few other miscellaneous provisions
10 that are necessary in order to understand what the rest of
11 the standards are supposed to mean.

12 The storage standards. 15 millirem maximum dose to
13 any member of the public in the accessible environment, which
14 is outside of the Nevada Test Site, the Yucca Mountain site,
15 the Nellis Air Force Range. An important aspect of our
16 regulatory development was what happened when Yucca Mountain
17 was taken out from the purview of 191. The directions to us
18 were to develop standards that were unique to Yucca Mountain.

19 And, as our lawyers say, we have to develop those standards
20 de novo, as they say. In other words, we start from scratch.

21 So, we have to look at all the concepts for radiation
22 protection, radioactive waste disposal, and say, okay, do
23 these things make sense still for Yucca Mountain? Do they
24 fit? So, we look at the storage standards and we say, okay,
25 is there any reason why the public should get a different

1 dose from any releases through storage than they might get
2 through disposal? The answer is no. So, the standard is 15
3 millirems for storage.

4 Moving on to the disposal standards for the
5 individual-protection standard, again when we go back and
6 look at the fundamental concept of should there be an
7 individual-protection standard, there's no argument about
8 that. Congress told us to make one. The question arose as
9 to just what should that standard be? If we got back to Part
10 191, we have a 15 millirem standard there. Again, that was a
11 generic regulation. It applies to any and all repositories.

12 We asked ourselves is there some reason why the Yucca
13 Mountain Site should be allowed to give people a larger dose
14 than what we had in the generic standard? Again, the answer
15 comes back no. We look at our precedents, we apply Part 191
16 to WIPP. The standard there was 15 millirems. Is there any
17 reason why Yucca Mountain should have a higher individual
18 release standard than what was allowed in WIPP? The answer
19 comes back no. So, this was actually probably one of the
20 simplest decisions, almost clear cut in developing the rule.

21 The individual-protection standard is 15 millirems.
22 The receptor to that is what we define as a reasonably
23 maximally exposed individual, the RMEI, who lives in the
24 accessible environment above the highest concentration in the
25 plume of contamination. We require a 10,000 year dose

1 projection. In other words, this 15 millirem standard
2 applies for 10,000 years within the regulatory legal context
3 of the rule. The standard also is an all pathway standard.
4 Again, these are things that are very much consistent with
5 Part 191 and previous precedent in applying Part 191. When
6 we ask ourselves do these things make sense for Yucca
7 Mountain, the answer comes back, yes, they do. So, these
8 provisions are very much similar to what was in 191.

9 To talk about the RMEI in a little more detail, the
10 RMEI is a hypothetically representative person. We looked at
11 the demographics in the area downgradient from the repository
12 and decided that our RMEI should be representative of the
13 majority of people in that area. So, we called this a rural
14 residential lifestyle. There's about 1,000 people or so in
15 the Amargosa Valley area. Only about 100 of them from the
16 information we have actually call themselves full time
17 farmers. The rest of the people do other things. In fact,
18 when you look at people out there, most of them are doing two
19 jobs and sometimes three or more. So, we cast our RMEI as a
20 rural rigid residential person. The characteristics of the
21 RMEI should be characteristic of the people who live
22 downgradient from the repository now in the town of Amargosa
23 Valley. We've used the term reasonably maximally exposed.
24 So, what we do here in this rule is we don't assume all the
25 characteristics of that RMEI are always to the worst extent

1 in terms of potential exposure. This is not a maximally
2 exposed hypothetical individual. It's a reasonably maximally
3 exposed. So, what we're doing is setting a couple of
4 parameters at the high end. The location, we're putting them
5 smack on the border of the controlled area which is something
6 I'll talk about a little later and we say that the RMEI
7 drinks two liters a day of water. Again, this would push the
8 likely exposure or distribution toward the high end, but not
9 excessively toward the high end.

10 Okay. What's the accessible environment? This is
11 a term that's been around a good while and again was in 191.
12 It's an area outside of the fire area, outside of the
13 controlled area. Now, the controlled area, which I'll talk
14 about in a little more detail, for the Yucca Mountain site
15 should be no more than 300 square kilometers and should
16 exceed no further south in the direction of groundwater
17 transport than the southern border of the Nevada Test Site
18 which is a distance of about 18 kilometers from the
19 repository and should extend no further than five kilometers
20 in any other direction. I'll talk about this in a little
21 more detail later. Again, the whole concept of a controlled
22 area was something that came from 191. So, we had to look at
23 that and say in terms of the Yucca Mountain site, does it
24 still make sense to have a controlled area? And, the answer
25 comes back yes.

1 The human-intrusion standard, we agree very much
2 with the assessment that the NAS made in terms of the
3 usefulness, the importance, the intent of the human-intrusion
4 standard. We recognize that resources are rather sparse in
5 that area. There hasn't been much found except groundwater
6 which is the predominant resource. So, in comparison to,
7 say, a sole repository, human-intrusion is not a particularly
8 likely pathway where individuals would get exposure, but it
9 is a potential pathway. The NAS recommended that you look--
10 we look at human-intrusion in terms of resilience of the
11 disposal system. They're effectively saying, okay, if you
12 had some sort of intrusion, would it cause severe degradation
13 of the disposal system? They recommended that the exposure
14 limits for a human-intrusion scenario, a stylized test of
15 resilience like this, should be no higher than the exposure
16 level for the anticipated case. We agree with that. So, the
17 exposure standard for human-intrusion is 15 millirem. They
18 recommended that this exposure should take place when the
19 canisters have begun to fail, and at this point where they
20 have failed, such that an intrusion may be possible without
21 the drillers actually being immediately aware that something
22 has happened. So, we've included this recommendation also in
23 the rule. These last two bullets effectively address the
24 time when this human-intrusion event occurs. Again, that's
25 something the applicant has to determine for the licensing

1 process. We're giving them some direction here. The time of
2 this possible penetration happens when the cans are beginning
3 to be degraded.

4 Okay. What do you do with the dose? If this time
5 of intrusion is within 10,000 years, the dose, when it gets
6 to your receptor down at the end of the control barrier, if
7 that is within 10,000 years, that's reported in the license
8 application. It's judged against this 15 millirem standard.
9 If the intrusion happens or the dose gets to the receptor
10 after 10,000 years, that dose then is not compared in a legal
11 licensing context against this 15 millirem standard because
12 of the compliance, the regulatory period that we've denoted
13 of 10,000 years. This is a line in the sand effectively from
14 a legal standpoint. What happens before 10,000 years is
15 critical to the license acceptance. What happens after
16 10,000 years is additional information and understanding of
17 the disposal system that's made available during the
18 licensing process. But, again, the legal line in the sand is
19 the 10,000 years.

20 Okay. Circumstances, some more detail on the
21 intrusion. A single intrusion from water exploration, again
22 the only type of resource exploration that seems reasonable
23 for the top of Yucca Mountain. As the NAS recommended, the
24 borehole would penetrate the waste package and proceed
25 directly to the aquifer. The borehole is not carefully

1 sealed. Only releases through the borehole are analyzed
2 since this is a test of resilience of the disposal system.
3 No releases caused by unlikely natural events or processes
4 are considered.

5 Okay. Moving on to the third standard, groundwater
6 protection, we've applied the EPA MCL limits to what we call
7 the representative volume which I'll talk about in a little
8 more detail. Representative volume is an annual groundwater
9 withdrawal representing current and planned groundwater uses
10 in the town of Amargosa Valley. The size of the
11 representative volume is 3,000 acre feet. It's in the
12 accessible environment and it's to contain the plume's
13 highest concentration. So, the representative volume is
14 centered on the plume. There's been quite a bit of
15 controversy as to whether or not groundwater standards should
16 apply, its EPA policy, its national policy to protect
17 groundwater. Groundwater protection requirements are put on
18 every sort of disposal facility down to municipal landfills.
19 We feel that when you're putting, oh, more than 5 billion
20 curies of high-level radioactive material in a system that's
21 sitting directly over a fresh water aquifer that is the sole
22 source for people downgradient of it, it just makes no sense
23 to stand up and say we're going to throw away groundwater
24 protection requirements.

25 Some of these other provisions, I'll talk about

1 this one in a little more detail, but it's a very fundamental
2 point in terms of evaluating long-term performance of a
3 geologic repository. How do you predict over a 10,000 year
4 time frame what people will be doing, what the world will
5 look like, what the whole disposal system will really look
6 like in those kinds of time frames. If you look in detail at
7 what's involved in projecting performance, there's virtually
8 nothing that is actually verifiable in real time. Everything
9 is an extrapolation. So, this question of what you--just how
10 confident can you be in the myriad of extrapolations that you
11 do is a very critical one. This is something that's been
12 looked at ever since the geologic disposal concept was born
13 in the 50s. It's been examined by expert panels and blue
14 ribbon panels over the years. About every 10 years, the
15 whole issue recirculates again and the same conclusions come
16 up. So, you assume that society, biosphere, human biology,
17 technology, and knowledge are essentially as today because
18 any other assumption leads you to speculative scenarios none
19 of which are any more defensible or usable than any others.
20 So, the only thing you can really do is simply default and
21 say, okay, things are the way they are today, the only thing
22 we can deal with.

23 The question of where do you cut off the events,
24 processes, and so on that are involved in this process also
25 pops up. Do we have to look at highly improbable things like

1 meteoriting packs, again a question that's been around for
2 really generations? The same kind of probability cutoff that
3 existed in Part 191, we simply carried forward. It makes
4 just as much sense in Yucca Mountain as it does generically.
5 So, you do not analyze events that have a probability of
6 less than one in 10,000 occurring within 10,000 years.
7 Again, as I said, the 10,000 year compliance period is a line
8 in the sand from a legal standpoint. That does not mean that
9 the assessments of disposal system performance are absolutely
10 infallible one year before 10,000 years and meaningless one
11 year after. It would be irresponsible for us to simply make
12 any kind of statements or implications like that. Our rule
13 does require that the long-term performance, the post 10,000
14 year projections, be examined by the applicant and that they
15 be put in the environmental impact assessment which is part
16 and parcel of the whole package of materials that goes into a
17 licensing process.

18 Okay. I'm beginning the second part of my little
19 spiel today. I want to talk to you about a few areas in more
20 detail as to what the thinking was that went into some of
21 these things. Some preliminary background information, again
22 the Energy Policy Act mandated that we do a site-specific
23 standard, not apply 191 to Yucca Mountain as was done with
24 WIPP. We had to essentially rethink everything in terms of
25 whether or not it made sense for Yucca Mountain or not. The

1 NAS recommended we use a cautious, but reasonable approach to
2 the standard development. And, again, we agree with this
3 approach. In terms of looking at every component and
4 determining whether or not it makes sense for Yucca Mountain,
5 an important example of this is there is no containment
6 standard in the Yucca Mountain standard as there is in Part
7 191, as there was in WIPP. The containment standard as
8 described in 191 was to address the situation where you could
9 have a poorly performing repository which made its releases
10 into lakes, streams, oceans, large bodies of water where you
11 would get a massive dilution and that dilution would then
12 spread this high release over a large population. If you
13 look at the physical situation of Yucca Mountain, that just
14 doesn't exist. There is no purpose, there is no need for a
15 separate containment standard. Between the three standards
16 that were applied at Yucca Mountain, the release paths are
17 covered. So, this is a prominent example of what happens
18 when you have to redevelop the standard de novo, as the
19 lawyers say.

20 Okay. Again, considerations. Consistency with
21 site-specific information doesn't make sense for Yucca
22 Mountain. The approach to public health and environment
23 protection should be cautious, but reasonable and non-
24 extreme. In other words, are we taking a prudent, cautious
25 approach to public health protection in the options we look

1 at and in the final decision? The third point is an
2 important one. Whatever we pick here, we want to reduce
3 regulatory uncertainty. In other words, we want to pick
4 approaches and requirements that don't generate a wide
5 spectrum of possible scenarios, any one of which is as
6 equally defensible as any other, but whose performance may be
7 dramatically different. The licensing process is really a--
8 it's not just simply an academic meeting. It's a consensus
9 development process that involves the regulated, it involves
10 the applicant and any other interested parties. Reasonable
11 folks have to be able to sit down and look at this assessment
12 for licensing and be able to come to a consensus that this is
13 okay, this is good. If you put in provisions that simply
14 introduce a wide spectrum of divergent views in your
15 licensing process, you're setting yourself up for a very
16 difficult, maybe impossible time.

17 I've alluded to this early, a persistent question
18 in framing the details of the standards. Of course, we're
19 looking at long path life waste, waste that will be around
20 for a very long time. So, we have this concern of long-term
21 protection based on these wastes, a generic concern for
22 geologic disposal. We have to project his performance. So,
23 what do we use, current conditions or do we use projections
24 of what we think things might be? The answer to this is
25 something that's been around a good while. We call it the

1 Future States assumption. It was explicitly put out in the
2 WIPP regulation for these performance assessments. You
3 assume that human activities, technology, knowledge,
4 etcetera, are as they are today. The thing you vary is
5 geologic and climatic variations because we can have some
6 sort of handle on at least a way to vary these things. If
7 you look at the history of predicting human events, it's just
8 about hopeless. No one 200 years ago really predicted what
9 the world would look like today. Predictions we make today
10 about what the world is going to look like 300 years from now
11 are essentially the wildest of speculation.

12 So, the Future States assumption again, you cannot
13 rely on what we predict is human actions and activities,
14 assume the current situation. That does not mean that we
15 assume that everyone at Yucca Mountain is rooted in the
16 ground like a tree at some point in time. When the NAS put
17 their report out and the license application is submitted, we
18 think it's reasonable to look at relatively short term
19 projections of changes in the local area, 10 or 20 years,
20 rather than assuming some fixed date in time. And, again,
21 climate and geologic conditions are required to be varied in
22 the performance assessments.

23 Things I want to talk about in a little more
24 detail, the RMEI versus critical group, compliance point
25 location and controlled area size--these are closely related-

1 -the regulatory time frame, the representative volume, and a
2 concept that we've always used in our regulations is the term
3 "reasonable expectation.

4 One of the major concerns has been who should be
5 the receptor? Should it be this RMEI or should it be a
6 critical group? The RMEI, as I said, was a hypothetical
7 individual; a critical group is a more diverse group usually
8 spread out. The site-specific situation, in other words what
9 makes sense at Yucca Mountain? We have a small, but widely
10 dispersed population. The characteristics of the site is we
11 have a fracture dominated hydrology, contamination plumes,
12 and this type of hydrology will be relatively narrow. The
13 closest population downgradient from the repository--again
14 this is rural residential group.

15 The exact path of contamination plume will remain
16 uncertain. For small exposed populations, dose to the RMEI
17 or critical group member is expected to be very close. So,
18 we don't see that there should be a big difference in the
19 actual dose assessments to the critical group as is usually
20 defined compared to this RMEI hypothetical person who
21 actually will have a lot of characteristics of a critical
22 group if you follow the normal way critical groups are
23 defined. In fact, if you look at international texts on
24 critical group development, you'll see that one of the ways a
25 critical group is actually implemented is to define a

1 hypothetical representative person. I believe the German
2 program uses this approach. There will be less decision-
3 making uncertainty with an RMEI in the path of the
4 contamination plume as opposed to a critical group.

5 To kind of illustrate that, this is a rather busy
6 slide, but it's from one of our technical reports. What we
7 have here is a particle track of the contamination plume from
8 Yucca Mountain. The critical group--the groups that have
9 been looked at in the past have largely been collections of
10 farms. So, to look at this, we effectively took a 255 acre
11 alfalfa farm which is the largest water consumer in the area
12 and as an average size for the farms there and then we just
13 arranged them in a couple of different geometric patterns.
14 Here's a pattern of 25 alfalfa farms in a square, here's 25
15 in a curves outline, 15 in a vertical line. The important
16 point you see here is that the particle part path cuts
17 through only a relatively small number of these farms. If
18 you were to use a critical group, you're faced with basically
19 an arbitrary choice of how you were going to arrange these
20 farms to get a representative dose or a truly protective
21 dose. You could put all these farms in some sort of
22 arbitrary line in the direct path of the plume itself.
23 They'd all get very much the same kind of concentrations.
24 There's all sorts of essentially regulatory uncertainty and
25 arbitrary decisions that have to be made to use this kind of

1 farm critical group approach. We believe that it's more
2 protective to take a bit more conservative approach and
3 simply put your RMEI up here in the path of the plume, the
4 characteristics of which again are defined to be
5 representative of the people in this entire area down here
6 where the actual farming takes place. It's simply much more
7 straightforward than a critical group approach, it reduces
8 the uncertainty, and is unquestionably a conservative public
9 health protection stance.

10 The compliance point location, this one of the
11 fundamental concerns. The location should reflect again the
12 cautious, but reasonable approach. It should be consistent
13 with site-specific information.

14 Let's look at the site-specific information. The
15 predominant release path is through the groundwater. The
16 groundwater moves down and to the east in the unsaturated
17 zone. When it hits the saturated zone, it moves generally
18 south. The location of potential receptors now, the closest
19 people are a handful or residents down at what's called the
20 Lathrop Wells area about 20 kilometers distance from the
21 repository. Again, looking at the relatively short-term
22 projections of what's going on in that area, we see some
23 impressive development plans, industrial park, a science
24 museum, projections of thousands of people coming through
25 this science museum. So, this area between 20 kilometers and

1 the Test Site which is a boundary that's very much fixed--
2 I've been told it's legally been determined the Test Site
3 will be a restricted area essentially indefinitely. So, the
4 northward extension of people can only really go up to the
5 Test Site boundary. So, the Test Site boundary appears to us
6 to be the cautious, reasonable, sensible southern limit for
7 the compliance point. That's as close to the repository as
8 people are likely to be keeping in mind our Future States
9 assumption.

10 The disposal system controlled area again, a very
11 closely related concept, something that's been around for
12 quite some time. The controlled area has two major
13 regulatory functions. It's a compliance measure. The
14 standards apply at the border of the controlled area. The
15 controlled area essentially defines the extent of the natural
16 barrier which is part of the disposal system. So, the
17 standards apply at the boundary and beyond. They do not
18 apply inside the boundary. It also has an institutional
19 control function in that you want to--by institutional
20 controls, you want to keep people out of this area maybe
21 potentially contaminated. So, the controlled area is of a
22 minimum size, exclusionary to prevent inadvertent exposures.

23 Again, we look at the concept, is the concept of a
24 controlled area valid for Yucca Mountain? The answer comes
25 back, yes, it makes sense. A site-specific assessment is

1 based on the receptor locations, again you can't be any
2 closer to the repository than the Test Site boundary, the
3 projected repository performance--and here's an important
4 point for determining the size in terms of projecting
5 repository performance--we considered both the anticipated,
6 as well as the unanticipated releases to come up with a
7 maximum size of 300 square kilometers.

8 Here's a plat we've put together. Again, it's from
9 one of our technical reports in the docket. It shows here
10 the layout of potential repository locations that have been
11 published, projections of the contamination plume from the
12 repository, and again you can see the eastward movement and
13 then the southern movement. Based on the institutional
14 requirement of the controlled area is to keep people out from
15 inadvertent exposure, you want to essentially put your
16 controlled area around the entire projected release path from
17 the repository. If we look at the performance projections
18 within 10,000 years, we see that very little gets out of the
19 repository under the normal operating conditions, the
20 normally anticipated slow degradation of the engineered
21 barrier. However, we've had a long-running kind of evolution
22 in the off-normal performance. In other words, what's been
23 called in DOE documents premature releases or early waste
24 package failures, etcetera. These kind of things can't be
25 precluded. We can argue about just how many premature

1 failures there are likely to be, but they can't be
2 unequivocally eliminated. We know from the fracture flow
3 hydrology that the plumes from these kind of releases could
4 be relatively narrow. Those kind of releases could happen
5 anywhere in the repository. So, it's possible that premature
6 release plumes could be coming anywhere within this envelope.
7 Again, for an institutional control measure, that envelope
8 of potential releases should be contained within the
9 controlled area. We simply draw a little box around that
10 down to the Test Site boundary, we come up with at least
11 about a kilometer or so buffer from the actual operation
12 facilities and the ends of the projected plume. We come up
13 with an area, 14 by 25 kilometers. That's more than 300
14 square kilometers. However, if we assume that the controlled
15 area should be tailored to what the actual plume projection
16 is, we cut off--taking these areas out of the box, we come up
17 with a size of about 300 square kilometers which we feel is a
18 reasonably conservative size for the controlled area, itself,
19 which will still fulfill the two major functions that I
20 talked about initially.

21 Okay. The regulatory time frame, our objective
22 here is to provide a reasonable expectation of long-term
23 safety. We've got very long-lived wastes here. We want to
24 give the public protection for a long time frame. The
25 decision of just what that time frame should be must balance

1 the long time frame and the uncertainties inherent in the
2 projection of repository performance and, again, coming back
3 to this point about regulatory consensus. In Part 191 and in
4 previous regulations, the 10,000 year time frame was
5 selected. If you look at international regulations, you'll
6 see the 10,000 year number show up in just about all of them
7 in one way or another. The entire waste management community
8 has apparently made some sort of decision here, the consensus
9 feeling, that 10,000 years is long enough to have to make
10 long-term projections of this performance in terms of a
11 regulatory decision. And, the rationale has always been that
12 as time stretches into the tens of thousands, into the
13 hundreds of thousands of years, the uncertainties in these
14 projections begin to get so wide that you can make almost any
15 number of scenarios for performance, any one of which may be
16 as equally defensible as any other. So, in terms of making a
17 yes/no decision on a regulatory time frame, if you're doing
18 it on a widespread performance scenarios, none of which you
19 can justify dramatically one versus the other, you've set
20 yourself up with a very, very difficult thing to develop this
21 regulatory consensus on.

22 So, looking at whether or not 10,000 years make
23 sense for Yucca Mountain, again we look at some of DOE's
24 performance assessments and you say, okay, when does the peak
25 dose come out? If you look at the viability assessment, the

1 peak dose comes out at about 300,000 years. If you look at
2 the site recommendation TSPA, the peak dose comes out at
3 around 300,000 years. If you look at the difference between
4 these two assessments, you see the waste package has been
5 fairly dramatically changed, there's no drip shield in the
6 VA. The corrosion resistant material is put on the inside
7 and it turns out putting it on the inside makes it very
8 susceptible to a crevice corrosion process which is at that
9 point in time identified as 25 percent more corrosive than
10 the general corrosion. And, there was a rather unrealistic
11 and extreme model of waste package performance and release.
12 If you look at the site recommendation assessments, again the
13 drip shield shows up, the corrosion resistant material has
14 been put on the outside to increase the lifetime of the
15 package. There's a much more realistic model of waste
16 package behavior and release. But, yet, the peak dose still
17 comes out at about 300,000 years.

18 So, this isn't giving us a whole lot of help
19 looking at the time of peak dose. It appears that the peak
20 dose based on the performance assessments is relatively
21 insensitive to the waste package design and the modeling
22 assumptions. However, if you burrow down into the modeling
23 assumptions, you'll see that even with the SR, there are some
24 very conservative extreme assumptions taken on the waste
25 package performance. One could say, as Abe alluded to

1 yesterday for the migration of radionuclides along a
2 continuous water film, these things are incredible. The
3 assumptions in the TSPA analysis are again difficult to
4 defend on a realistic basis. So, even though the waste
5 package design and the modeling become much more highly
6 engineered, the analyses don't help us in terms of realistic
7 assessment of just when the peak dose time is. We've got
8 trouble there if we want to set a standard based on a peak
9 dose time of arrival. We just don't really know
10 realistically what that would be.

11 Again, falling back on the more generic rationale,
12 i.e. that the very long dose assessments contain
13 uncertainties, if you look at the long-term assessments the
14 DOE has done, you have considerable uncertainty in the
15 projection of site characteristics and the simplest source
16 term model for long-term release has been used. DOE simply
17 takes the waste and dissolves it up in the percolating
18 groundwater at the solubility limit. The uncertainties in
19 very long-term performance really confound our decision-
20 making in terms of looking at these long-term performance
21 scenarios and what the projected releases are.

22 We have to ask ourselves will the hydrologic regime
23 remain unchanged over periods of hundreds of thousands of
24 years? This is a seismically very active area. If you look
25 at the displacements on the active faults over the periods of

1 hundreds of thousands of years, some of the geography here
2 can be displaced kilometers. If you have a fractured flow
3 regime, the water movement here is controlled by the fracture
4 characteristics. Would 300,000 years of additional seismic
5 shaking in this area loosen up the fracture network?
6 Assuming the same gradient if we loosen up the fracture
7 network, the groundwater travel times could go down. You
8 actually have better performance. That's assuming the
9 gradient remains the same. And, why should we assume that?
10 Will the gradient for the system stay or alter in such a way
11 that the performance is in terms of groundwater travel time a
12 little bit better, worse, or pretty much the same? How can
13 we really determine that? How reliably can we assume that?
14 How reliable are climate projections? We can make
15 estimates of what some of this rainfall can be, but can we
16 really have any certainty about how much it will be or when
17 it will be within that long time period? Again, groundwater
18 is what takes the waste out. If we have large uncertainties
19 in how much groundwater over hundreds of thousands of years
20 will actually move through this system, again we have a hard
21 time here justifying any particular performance scenario.
22 How will the heat pulse alter the near-field?
23 There's been a lot of talk about this over the years. There
24 have been actually very, very few assessments that have been
25 made to try and quantify these results. People kind of wave

1 their arms around and say, oh, well, this is a complicated
2 business. We just don't know. We have these large
3 uncertainties of what the heat pulse will be. We tend to
4 assume that it will always be negative, but yet there are
5 lots of examples in the geologic world where minerals
6 precipitate in fractures. We expect a lot of action
7 effectively right around these emplacement drifts in the
8 situation. Will this heat pulse in the near-field result in
9 a situation where more water gets into the emplacement drifts
10 or actually less? Will it channel this water kind of more
11 uniformly over the entire emplacement drifts or will you have
12 just a few places where we might have more conductive
13 fractures dripping into this environment? How do we know?
14 Again, this confounds the number of different scenarios that
15 can be conjured up and would have to be evaluated in a long-
16 term licensing process.

17 How will groundwater react with and transport
18 wastes after the waste package is substantially gone? Again,
19 the assessments that DOE uses, so far, uses the simplest
20 approach possible. You simply dissolve the waste into the
21 groundwater as a function of its solubility limit and again
22 this considerable uncertainty over the years over just what
23 the solubility limits are for some of these poorly soluble
24 radionuclides, that uncertainty remains. Is it reasonable to
25 assume that in the hundreds of thousands of years time period

1 that the system will behave simply like stirring the sugar
2 into your coffee; it will dissolve it at the solubility
3 limit? If the waste package is largely gone and water drips
4 on the waste, it drips off. Perhaps, leaking experiment
5 numbers are just as legitimate in the long-term as solubility
6 numbers are. Again, that's a fundamental change in the
7 source term for those assessments. Which one is right and
8 how much is right?

9 So, with the combination of all of these
10 uncertainties in predicting what the system will look like,
11 what the performance will be in these very, very long time
12 frames, you say for the purpose of regulatory decision-
13 making, this just presents us with a situation where
14 reasonable people just probably will not come to much
15 consensus.

16 So, we settled on the regulatory time frame of
17 10,000 years. It's consistent with the existing precedents.
18 It avoids the speculative performance scenarios and the very
19 long performance scenarios are required. DOE still has to
20 make this long-term prediction. It's simply just not the
21 subject of a licensing decision.

22 Representative volume. Okay. It's a volume of
23 groundwater for resource protection. It represents a
24 spectrum of resource uses in the downgrading area; again,
25 agriculture uses, residential, municipal, industrial uses. A

1 calculational approach, as we've put in the rule, for the
2 representative volume for the groundwater compliance are
3 essentially based on the plume itself. We have the slice of
4 the plume method where the representative volume would be
5 that piece of the plume which annually goes by the compliance
6 location. We also have a pumping well approach where you'd
7 simply put wells around the plume and pump out the
8 representative volume and again compare that groundwater
9 concentration to the MCL limits.

10 I'm going to go back to my busy slide. How did we
11 come up with 3,000 acre feet? Again, look at this particle
12 track here and look at about--here's the size of one average
13 alfalfa farm. To put the agricultural use across the plume
14 where we need at least two farms in there for the plume to go
15 through them to get kind of an even reasonable approximation
16 of what the plume composition would be. We've also added in
17 the residential and industrial uses and come up with a number
18 that's very close to 3,000 acre feet. We've taken a
19 conservative approach because, after all, the farming area is
20 down here. The amount of water tapped by that farming area
21 is in the tens of thousands of acre feet. The actual
22 estimates of the discharge from Basin 227-A that has the
23 releases in it is about 8,000 feet. So, 3,000 feet, by
24 taking the representative volume and putting it up here,
25 protecting a smaller volume higher up at the compliance

1 point, we're protecting a larger volume for all the users
2 downstream.

3 This is the last thing I wanted to talk about.
4 This is our concept of reasonable expectation. It's a word
5 that has appeared in Part 191. It's a word that's kind of in
6 our lexicon. We believe that absolute proof of compliance
7 with the standards cannot be gotten in a conventional sense.

8 As I said earlier, everything in this business involves a
9 long-term time projection. So, under a reasonable
10 expectation approach, I've got three bullets here that sound
11 very much like motherhood statements, but really aren't when
12 you come right down to actually trying to implement them.

13 Recognize and evaluate all the uncertainties.
14 We've heard a lot of talks yesterday about the uncertainties
15 here. The fact that performance assessors begin to look at a
16 couple of different conceptual models, but they usually
17 select one to do analyses on and then all the mathematical
18 uncertainty studies are usually done on that conceptual
19 model, that set of data. There are other conceptual models
20 every bit as defensible that should be looked at in order to
21 provide the context, the total picture, of what the possible
22 performance could be. Because what happens when you publish
23 this one conceptual model and begin talking about it and
24 label it as your base case or your nominal case is that
25 everyone looks at it and thinks that is the expected

1 performance. It may not be, at all. It may, in fact, be a
2 very conservative, perhaps even extreme, performance scenario
3 set up for the purpose of doing some calculations. Often
4 performance assessors make very conservative assumptions
5 simply because it's too difficult, too controversial to try
6 and quantify some of the processes. So, they take the
7 extreme end. They pick the extreme data, the extreme
8 process, for the sake of conservancy. These things build up
9 and build up and build up. So, what you're actually looking
10 at in some of these assessments are scenarios that have very,
11 very low probabilities and you need to keep this in mind from
12 a regulatory context. You don't want to be regulating on
13 scenarios that are extraordinarily improbable. Your
14 assessment should be as realistic and practical as ever.
15 Again, this comes right back to looking at alternate
16 conceptual models. And, avoid extreme assumptions to
17 simplify your calculations.

18 Yesterday, we heard a lot of discussion about what
19 these uncertainties were and a lot of the points brought up
20 here hit directly at those things. If you looked at, say,
21 the VA assessment, you had an extraordinary conservative
22 performance scenario. So, what you were actually looking at
23 there was a low end, not a base case. To give you a little
24 bit of anecdotal information, when the VA assessments came
25 out, we had our technical contractor burrow down into the

1 assessments to try and find out what the assumptions were and
2 what the conservatism in them might have been. The answer
3 came back that the VA assessments could be as much as eight
4 orders of magnitude higher than what you would actually
5 anticipate. So, again, if you were to look at these things
6 in a more realistic way, you would look at also scenarios
7 that touch on things more conservative than what you've
8 actually done.

9 And, that's it.

10 WONG: Thank you. Questions from the Board? Ladies
11 before gentlemen, Priscilla first?

12 NELSON: Right. Motherhood and fatherhood, both
13 important. Nelson, Board. Can you tell me about your
14 thinking about placing this discussion in the context of
15 Yucca Mountain specifically with its proximity to the Nevada
16 Test Site and the existing character of the groundwater and
17 the site in terms of maybe existing millirems that are
18 already there or could be expected from other sources?

19 CZYSCINSKI: That question comes up a lot. Does this
20 standard consider the exposures that may happen in the long-
21 term from the other activities of the test site? We've kind
22 of addressed that in two ways. One is the simple way that we
23 were directed by Congress to set a standard for the releases
24 at Yucca Mountain. We can't take that mandate and expand it
25 to exposures from the entire Test Site. That's not what

1 Congress told us to do. So, the simple answer is, well, we
2 can't do that because Congress told us not to. The more
3 detailed answer is in the radiation protection community 100
4 millirems has kind of been identified as the maximum level of
5 exposure that the public should have from what's called
6 practices and that the releases from an individual activity
7 should be a number smaller than that. So, the fact that we
8 have set the individual protection standard at 15 millirems
9 is consistent with that kind of approach. And, we also
10 believe from looking at the data that a lot of the releases
11 from activities at the Test Site are going in different
12 directions. They're not all heading down Forty Mile Wash
13 toward Amargosa Valley. The combination of Congress telling
14 us this is your job, Yucca Mountain Repository, period,
15 setting the standard at 15 millirems, not 100 millirems, and
16 the fact that not everything at the Test Site comes roaring
17 down toward Amargosa Valley, kind of addresses this, we hope.

18 RUNNELLS: Runnells, Board. Ken, I think you almost
19 answered the first question I have and that is--or came close
20 to Priscilla's question--natural background radiation not
21 related to the Test Site, but just natural background
22 radiation. Does it play any role in the setting of this 15
23 millirem number?

24 CZYSCINSKI: The 15 millirems is for releases from Yucca
25 Mountain.

1 RUNNELLS: So, it's independent of whatever natural
2 background may be at Site A, B, or C?

3 CZYSCINSKI: Right.

4 RUNNELLS: Okay.

5 CZYSCINSKI: Natural background does play into some of
6 the MCL limits because they were set in a very different
7 context, but when you look at the releases from Yucca
8 Mountain, what actually gets to your receptor is really beta
9 photons and natural background on an iodine 129 and tech 99
10 is virtually nothing.

11 RUNNELLS: Okay, good. Thank you. Another quick
12 question, I think. The model that you use in the maps that
13 you showed us of the plume, is that an independent
14 groundwater model that you have developed or are you using
15 DOE's model?

16 CZYSCINSKI: No. This is a particle track trace taken
17 out of the VA document.

18 RUNNELLS: Okay.

19 CZYSCINSKI: And, if you look at the SR documents, the
20 same general shape shows up.

21 RUNNELLS: Gotcha.

22 CZYSCINSKI: Now, we looked at this diagram to kind of
23 give us an idea of what the whole plume would look like. We
24 did a little estimation of how the plume would increase, how
25 it would get bigger as a function of dispersion. That's the

1 first graph I showed you. It was only a particle track and
2 this one has some dispersion built into it.

3 RUNNELLS: We heard unofficially from Abe yesterday
4 about the unofficial conclusions of the International Peer
5 Panel that the groundwater model may need some work. That
6 would ramify to your work, as well, I presume. You follow
7 what the project is doing in terms of groundwater?

8 CZYSCINSKI: We are unfortunately kind of the poor
9 sister in the business. We don't have a lot of money to
10 create a completely independent performance assessment
11 capability. So, we look at what DOE does, look at it, and
12 critically what can we rely on, what might be a little fuzzy.

13 RUNNELLS: I understand. If I don't look at Dr. Wong, I
14 can ask another question, okay? I'll avoid eye contact.
15 This 10,000 year thing because these are long-lived
16 radionuclides, metals like arsenic and chromium and lead and
17 mercury are longer lived. They never go away. How does the
18 10,000 years come into something that is long-lived, but goes
19 away, radionuclides, in terms of regulations the EPA uses for
20 other metals at other sites that never go away? I mean,
21 what's the rationale for a time frame for something that
22 decays and--do you have a time frame for things like the
23 heavy metals that never go away?

24 CZYSCINSKI: Well, you're talking about two very
25 separate regulatory worlds, the radioactive waste world and

1 the RCRA world, toxics and everything else. In the RCRA
2 system, the way you dispose of something is to put it in
3 engineered barriers within engineered facilities that are
4 projected to last relatively long periods of time. But,
5 there is no long-term assessment of will a RCRA site remain
6 intact for 10,000 years, 100,000 years. The regulatory
7 philosophy is essentially to treat the waste, to put it into
8 a form that's extremely--that's not mobile, or in the case of
9 characteristic waste, to do something to the waste that
10 removes that characteristic. So, you treat wastes and then
11 you put them in these engineered disposal facilities in the
12 RCRA world. In the radioactive world, we're putting spent
13 fuels, a waste form. We're not treating that. We're putting
14 it into an engineered disposal facility that we're requiring
15 these long-term projections for and putting in a low dose
16 limit.

17 RUNNELLS: I hear what you're saying, but I would argue
18 that we are, in fact, treating the waste form here at the
19 site and I see it as an internal inconsistency in regulations
20 because the heavy metals last a lot longer. Enough said,
21 though. Thank you for the extra time, Dr. Wong. I'll look
22 at you now.

23 BULLEN: Bullen, Board. Thank you, Dr. Wong. Actually,
24 I have a couple of quick questions and I'm going to show you
25 my ignorance in not having read the Yucca Mountain standard

1 report from the National Academy in the last week or so. The
2 reasonably maximally exposed individual is different than the
3 individual that was cited in the minority report of Tim's
4 study.

5 CZYSCINSKI: Of the subsistence farmer?

6 BULLEN: Actually, could you just elucidate? I vaguely
7 remember the subsistence farmer, but can you tell me the
8 differences, please?

9 CZYSCINSKI: Well, the subsistence farmer essentially
10 stays in one place, gets all of his food, water, etcetera,
11 from that farm location. We looked at that idea. We said,
12 okay, does it make sense for Yucca Mountain? Well, it
13 doesn't. There are no subsistence farmers there. There's no
14 real evidence that there ever were any. It seems unlikely
15 that there would be any. From Future States assumption, we
16 look at what's there now and what's there now is this rural
17 residential RMEI that we've identified.

18 BULLEN: Bullen, Board. That sounds very reasonable. I
19 guess, did you also do the calculation to determine what
20 would be the maximum to that individual or was that something
21 that you didn't carry though?

22 CZYSCINSKI: I don't think we actually looked in any
23 detail on that.

24 BULLEN: Okay. I was just curious as to what the
25 magnitude of the difference is.

1 CZYSCINSKI: We eliminated it as an extreme approach.
2 It's not consistent with the rules of the game, as it were,
3 addressing what's there at Yucca Mountain.

4 BULLEN: Okay. Moving on to the human-intusion
5 scenario, you mentioned that you have to evaluate this when
6 the containers begin to fail. I suppose in the strictest
7 sense of the term, the containers begin to fail the day you
8 put them in the ground because the oxide layer starts to
9 grow. Can you quantify it a little bit more succinctly than
10 that or--I mean, I know significant degradation, half the
11 waste package gone or--

12 CZYSCINSKI: Well, when that happens is essentially an
13 implementation detail we've left to the DOE. DOE has to
14 prove when that intrusion could happen. It's up to them to
15 say, okay, we think under the expected conditions, the cans
16 will deteriorate to the point where they could be penetrated
17 without obvious awareness of the drillers at some point in
18 time.

19 BULLEN: Okay. Well, Bullen, Board, again--

20 CZYSCINSKI: We can't really set that because it is a
21 function of the waste package and we don't control the waste
22 package. So, we have to punt on that and say, okay, it's
23 DOE's responsibility to identify that time. It's NRC's
24 responsibility to determine if it's adequate or not. We
25 really can't do that.

1 BULLEN: Bullen, Board. Just one more quick one here.
2 I guess I was intrigued by the 300 square kilometer site
3 determination and then I was very intrigued when you started
4 changing dimensions on it when it was 350 kilometers that
5 said, you know, you can sort of lop off this lobe and that
6 lobe. I also understand the logic of using the Nevada Test
7 Site as a reasonable boundary, but what's to stop the
8 Government from deciding that the Nevada Test Site actually
9 is a lot longer and narrower and extends down to Death Valley
10 and basically buy all the land and make it the Test Site.
11 Does that have any impact on the type of standard that you
12 set up or is the 18 kilometers what you've decided and
13 that's--

14 CZYSCINSKI: Oh, well, we've set this as a boundary as
15 it exists today.

16 BULLEN: Okay. One final quick question and that deals
17 with sort of your Slide #35. It's right here. Cautious, but
18 reasonable expectations. You mentioned a couple of things
19 with respect to taking a look at the long-term dose and the
20 uncertainty being confounding to the decision makers. So, as
21 you look at this reasonable expectation, did you come up with
22 some sort of quantification of it? Is that sort of 2 sigma
23 on the mean or is it a 6 sigma determination or--

24 CZYSCINSKI: What you're asking for is what we consider
25 an implementation detail on the performance assessments that

1 we have to pass this off to NRC.

2 BULLEN: Okay. I guess, it follows on to we were quoted
3 back from our letters to the DOE by Bill Boyle yesterday
4 talking about the acceptance of certain levels of uncertainty
5 with decision makers and I just wondered if you'd quantified
6 that. I mean, if you had, that would save us a lot of time.

7 CZYSCINSKI: No, we really couldn't because that's not
8 our purview. We identify that or consider that to be an
9 implementation detail.

10 BULLEN: Okay, thank you.

11 CZYSCINSKI: If you look at our WIPP regulation, some of
12 those things are in there. That was an implementing
13 regulation.

14 KNOPMAN: Knopman, Board. Ken, would you clarify EPA's
15 role now in compliance? Is there a role, at all, or is
16 everything now in the hands of the NRC in terms of pre--if
17 there is to be some development at the site, then in the
18 preclosure phase, as well as post-closure, does EPA have any
19 role in monitoring and what precisely is it?

20 CZYSCINSKI: We will certainly look and monitor what's
21 going on. We will remain an interested party. We're
22 commenting on DOE's documents, but the responsibility for
23 issuing a license is NRC's; it is not ours. They implement
24 our standard.

25 KNOPMAN: I know. I understand--

1 CZYSCINSKI: So, we believe we don't have a role in that
2 sense.

3 KNOPMAN: Well, I understand the licensing role of NRC.
4 The question is in the compliance or the groundwater
5 protection standard. Are you involved in discussions with
6 NRC and or DOE on compliance monitoring of any kind or the
7 confirmation testing or anything that might give you
8 indicators of whether the standard is, in fact, being met,
9 not just obviously--not the distant 18 kilometer compliance
10 point, but within the controlled area?

11 CZYSCINSKI: We do not have the legal authority to do
12 that. We do speak with DOE. We do monitor what they do. We
13 try to understand what they do and the reasons behind it.
14 But, our role stops at writing the generally applicable
15 standards in the environment. Inside the Test Site boundary,
16 inside the repository itself, we don't have the legal
17 authority to step in there and make things happen.

18 KNOPMAN: Even on the groundwater standard?

19 CZYSCINSKI: Yeah, groundwater standard will be
20 implemented through the NRC regulation.

21 WONG: Okay. I have two time devices up here in front
22 of me and they have two different times. Decision-making
23 under uncertainty. I'm going to allow questioning to
24 continue, Dr. Cohon. Okay. Dr. Parizek?

25 PARIZEK: Parizek, Board. On the figure that's the

1 colored one, the second viewgraph you showed, it looks like
2 that's a plume from the TSPA-VA '98 or is that sort of a
3 broader one in terms of possible pathways that--

4 CZYSCINSKI: Actually, the figure we took out of our
5 presentation to the TRB and I don't remember exactly where it
6 was. I think it was in between the VA and ESR.

7 PARIZEK: Well, another thing. In terms of the
8 compliance boundary box, could that shift or is that fixed?
9 Would there be four stakes in the ground and that will not
10 move?

11 CZYSCINSKI: Well, it's really up to DOE and NRC to
12 define the actual shape of the controlled area. The only
13 thing we're saying is that its size cannot be greater than
14 300 square kilometers. If the DOE wanted to put the
15 controlled area one kilometer on each side of the repository
16 footprint, they could do that.

17 PARIZEK: What I'm allowing for is if the flowpaths on
18 the basis of Nye County drilling and new updated information
19 happens to be different than shown here by the particle
20 tracking diagram, then they could still fix the position is
21 what you're saying?

22 CZYSCINSKI: Yeah. Well--

23 PARIZEK: It's up to them to fix the position.

24 CZYSCINSKI: The only thing that's really fixed is the
25 Nevada Test Site boundary. These other dimensions are up to

1 DOE to define.

2 PARIZEK: The particle tracking figure looks like the
3 wells that would support the farms aren't pumping. This
4 looks like a steady-state flow particle tracking.

5 CZYSCINSKI: Yeah.

6 PARIZEK: Now, if, in fact, you turn on pumps to give
7 you the 3,000 acre feet to sustain the farm, it would be
8 diversion of flow. So, any one of the farms could actually
9 get the plume, divert it, or some portion of the plume
10 diverted. How does that factor in here? You're saying
11 there's only really a couple of hits by that configuration,
12 but I'm saying many farms could get hit if they have to be in
13 any position. You just turn on the wells and pump.

14 CZYSCINSKI: Again, that sets you up for all sorts of
15 scenarios you have to create and evaluate and make some
16 judgment on, none of which are--they're all speculative, none
17 which are any more defensible than any other. So, for the
18 sake of a cautious, but reasonable approach to public health
19 protection and trying to get some sort of regulatory
20 consensus, that's why we put the RMEI up there at the test
21 site. That's why we use an RMEI rather than a critical group
22 farm scenario because of all the assumptions you would have
23 to make to actually try to apply the farm critical group and
24 all the variations that you could have, I think, equally
25 defensible about that. You'd essentially be arguing about it

1 within a licensing context maybe forever.

2 PARIZEK: That sort of relates to the 3,000 acre feet
3 withdrawal amount. I'm not sure that would be the number
4 that Nye County farmers or Amargosa farmers would restrict
5 themselves to if they were allowed to take more water out of
6 the system. Again, that's a local debate.

7 CZYSCINSKI: Well, they do. I mean, the water would
8 draw down here in the farming areas in the tens of thousands.
9 So, our attempt to be protective is we're saying, okay, you
10 protect 3,000 acre feet up here by doing that when making
11 sure that that location meets the MCLs. You should be
12 meeting the MCLs down here in the wider area. You know,
13 considering the outflow of the entire basin is estimated
14 about 8,000, you're not sacrificing the entire basin to
15 contamination; you're focusing on where you should be
16 focusing on for protective approaches, the plume itself.

17 COHON: Since the acting chair is distracted, I'll take
18 over the chair and call on myself. This is Cohon, Board. I
19 want to pursue the 10,000 year time limit a bit more. I
20 don't want you to rehearse again all the arguments you used
21 for using it, but as we know, the National Academy of
22 Sciences recommended using the time at which peak dose
23 occurred. What's your argument against doing that? I mean,
24 why did they recommend that and how did you reject those
25 arguments?

1 CZYSCINSKI: Well, it's hard to predict what was in
2 their head. You can only go from what was on their papers.
3 They seem to say that you could believe that the geologic
4 conditions at the Yucca Mountain site would remain relatively
5 stable for a period of about 1,000,000,000 years allowing the
6 performance assessment projections to be bounded. They said
7 since you can do that, you can sit down and you can run your
8 models, put numbers in there, there's no specific scientific
9 reason to stop at 10,000 years. When we look at that, we
10 say, well, licensing is more than just running performance
11 assessment models. It's this consideration of all these
12 complex uncertainties and making a decision how much is
13 enough. And, you really defend one particular scenario
14 versus another. We look at these long-term uncertainties and
15 say we really can't say that there is the only--there is only
16 once scenario, there's only one performance assessment that
17 we need to look at. While the conditions could be bounded,
18 the probability--they didn't touch the probability of that,
19 at all, which is the big question. When we put up one of
20 these performance scenarios, what is its actual probability?

21 COHON: Yeah, but the logical inconsistency of that is
22 that one infers from that statement that somehow you're
23 confident about estimates at 10,000 years. I don't get it.

24 CZYSCINSKI: If you accept it, you're not confident
25 about the probability of 10,000 years which is certainly

1 plenty of uncertainty. As you go out even further, those
2 uncertainties get higher and your confidence goes--should go
3 lower and lower.

4 COHON: Yeah, but you're on quicksand. I didn't ever
5 hear you quantify the confidence or provide the standard for
6 confidence.

7 CZYSCINSKI: We don't think you could. Those long-term
8 assessments, we don't know what they are.

9 COHON: You did implicitly, that's my point.

10 CZYSCINSKI: Excuse me?

11 COHON: You must have done it implicitly to write it
12 10,000 years.

13 CZYSCINSKI: Well, we've done it--the 10,000 year again
14 is something that's been ensconced in existing regulations,
15 as well as international--

16 COHON: Well, that's arguing that you--

17 CZYSCINSKI: There's a consensus there that 10,000 is
18 long enough to look at this.

19 COHON: You did it because everybody else is doing it.
20 That's the argument.

21 CZYSCINSKI: We have a consensus that exists in the rad
22 waste community for years that 10,000 is long enough to do
23 these assessments, the point of making a regulatory licensing
24 decision.

25 WONG: Thank you, Ken. Thank you very much.

1 We have two questions and I apologize to Sally.
2 So, she'll have to either ask the questions in public comment
3 or pass them to Ken and he can answer them for you.

4 We have Russ Dyer who wants to do an announcement.

5 DYER: Thank you. I just got off the phone with Lake
6 who has been in communications with the Secretary's Office.
7 Because of all the things that are going on and our
8 attentions are focused elsewhere, we're postponing the public
9 meetings in Pahrump and Amargosa Valley, it looks like, for
10 two weeks. We're still working on the logistics. We've
11 notified the press. There should be an announcement coming
12 out this afternoon, perhaps this morning, in some of the news
13 media. We'll keep you informed as to what the logistics are
14 for the meetings.

15 For the Federal Employees here, I've declared
16 administrative leave for all Federal Employees today. We're
17 talking to Ken Hess. I'm not sure what the ESC team will do,
18 but if you're expecting some logistic support from the
19 project, plan on working with what you've got. Okay? Thank
20 you.

21 WONG: All right. We will continue our next
22 presentation. It will be from April Gil. She's the Team
23 Leader for Regulatory Interactions and Yucca Mountain
24 Project. And she will be providing a presentation on plans
25 for addressing key technical issues.

1

2 GIL: Thank you, Dr. Wong, Members of the Board. I'd
3 like to thank you for the opportunity to speak today about
4 DOE's plans to address NRC's key technical issues.

5 This is an area that we have had considerable
6 progress and considerable effort applied over the course of
7 the last year, and there's people here in the audience, I
8 think I've seen a lot of you at these key technical issue
9 meetings that we've had with the NRC over the course of the
10 last year. I know that many members of the board and your
11 staff have attended these meetings. And, I'd like to
12 recognize Carol Hanlon and Tim Gunter, who have both been so
13 instrumental in making these meetings successful.

14 My presentation today is divided into three parts.
15 It's process-oriented. I'm going to talk about the process
16 that the NRC has set up for the key technical issues, or
17 KTIs. Then let you know what the status of our agreements is
18 and talk about our future plans to address the KTIs.

19 The NRC is responsible for sufficiency review as
20 outlined in the Nuclear Waste Policy Act, which requires any
21 recommendation that the Secretary makes to the President to
22 include the preliminary comments from the Nuclear Regulatory
23 Commission. We have formally requested the sufficiency
24 comments from the NRC by November 1st, and they have
25 indicated that they will be able to provide those comments on

1 schedule.

2 NRC has also made very clear to us in a series of
3 interactions that their sufficiency review is going to be
4 based on Proposed Part 63, the available issue resolution
5 status reports that they have prepared for each key technical
6 issue, and acceptance criteria for each KTI.

7 Some years ago NRC reorganized their High Level
8 Waste Program to look at a series of topics that were
9 important for post-closure repository performance and they
10 characterized these as key technical issues. And, I believe
11 they've made substantial progress toward evaluating each of
12 these KTIs that progress is documented in the Issue
13 Resolution Status Reports for each KTI.

14 There are nine KTIs that are listed on the rest of
15 this slide and the next one: Igneous activity, structural
16 deformation and seismicity, evolution of the near-field
17 environment, container life and source term, thermal effects
18 on flow, repository design and thermal-mechanical effects,
19 unsaturated and saturated flow under isothermal conditions,
20 radionuclide transport, and total system performance
21 assessment and integration.

22 The general approach to address each of these is
23 laid out in public meetings, technical exchanges/management
24 meetings and these are defined in the DOE NRC procedural
25 agreement, which is the bilateral protocol that states that

1 DOE can make commitments in the management meetings. The NRC
2 has split each of the KTIs into sub-issues. The status is
3 determined by the NRC. They make this very clear at the
4 beginning of each meeting. Jim Anderson, who is their
5 project manager for this area, reads out a statement at
6 the introduction and objectives for each meeting notes that
7 the goal is to reach resolution on all issues such that
8 sufficient information is available on any issue to enable
9 the NRC to docket a proposed license application. And this
10 is in accordance with the requirements of the Nuclear Waste
11 Policy Act.

12 In general, there are three categories for KTI
13 status. Closed is when the NRC believes that the DOE
14 approach will acceptably address the NRC concerns. Closed
15 Pending is when the DOE proposed approach, together with
16 additional information that DOE commits to provide, will
17 acceptably address NRC questions. And Open. And that is DOE
18 has not yet acceptably addressed NRC questions or agreed to
19 provide additional information identified by the NRC.

20 And I'm pleased to let you know that, as of last
21 week, all of the issues are either closed or closed pending
22 as a result of the igneous activity technical exchange which
23 took place a week ago tomorrow.

24 Now, everyone, I believe, has a clear understanding
25 of exactly what closed, closed pending, and open means. And

1 that means resolution at the NRC staff level at this time.
2 However, it does not preclude the NRC from re-raising an
3 issue during their licensing review.

4 So the KTI process I think has been very effective.
5 It has allowed all parties who are involved with these open
6 meetings to determine whether sufficient information is
7 currently available for DOE to prepare a potential license
8 application. The NRC has identified where additional
9 information is necessary and we're able to assess progress
10 against our plans and agreements and put in our planning to
11 provide the additional information that the NRC has
12 identified that they will need. So that's the overall
13 process. Let me just bring you up to date on the status of
14 KTI resolution.

15 We have reached agreements, as I stated earlier,
16 with NRC for a path forward for closure of all 37 of the KTI
17 sub-issues. There are 292 KTI agreements, and I have a list
18 here. If anyone is interested I'll be happy to share that
19 with you. These agreements identify almost 250 documents
20 that DOE has committed to provide, including additional work
21 before submittal of a possible license application. So far
22 we have sent 67 documents to the NRC. This is a feedback
23 process. At the meeting DOE and NRC agreed to what DOE needs
24 to provide. We do so under formal cover letter and then the
25 NRC evaluates the information that DOE has provided and

1 provides us the feedback on whether or not they agree that
2 the issues have been resolved. So far we have gotten four
3 letters back from the NRC, so it's early in the feedback loop
4 process.

5 We have formal correspondence that keeps the NRC
6 apprised of the status. In addition, on a quarterly basis,
7 we meet for management meetings, QA meetings, and we also
8 have a KTI status breakout session--we just had one of those
9 on Thursday of last week--where we provide the status of all
10 the issues. And, we expect to provide an adequate response
11 to all the NRC issues by the time of a possible license
12 application.

13 There are different categories of KTI agreements
14 and what I've attempted to do here is just kind of put them
15 into general categories, the way we look at these for our
16 planning processes. Probably the simplest ones are those
17 where we have the technical information available but we need
18 to provide it, the documentation or clarification on work
19 that we've already done to the NRC. There are areas where we
20 have the data available, analysis needs to be done and
21 documented. And then there are a few areas where additional
22 testing and analysis is needed on the part of the department
23 to address the KTI. Each agreement is tied to a specific
24 document with a specific date. And the KTI agreements are an
25 important part of the department efforts with Bechtel SAIC to

1 do the planning for FY 2002 and the out years. So we are
2 making sure that each agreement is tied to a product, is tied
3 to a part of our plan.

4 There are two areas I wanted to focus on, give you
5 some examples of what the KTI agreements look like, and we
6 have chosen two that are potential mechanisms that result in
7 a calculated dose during the 10,000-year compliance period.
8 And these are two areas that we thought might be of
9 particular interest to the Board.

10 The first one is early waste package failures due
11 to defects in a nominal scenario. Second is igneous effects
12 in a disruptive scenario. And so what we have here is just
13 some examples of the additional work that DOE has agreed to
14 complete to support closure of these issues.

15 Under container life and source term we're going to
16 do additional work on the effects of corrosion processes, and
17 the effects of phase instability and initial defects on
18 mechanical failure. Under igneous activity we're going to
19 look in more detail at the consequences of igneous activity.

20 With more specificity here on slide number 12, you
21 see for container life and source term the sub-issue on
22 effects of corrosion processes. On container lifetime we
23 will be doing some additional testing and analysis. In
24 addition, this second bullet just shows you some more detail
25 on the scope of this key technical issue and DOE's agreement.

1 On slide 13, a little more detail for you on the
2 igneous activity sub-issue. As I mentioned, we were able to
3 achieve a closed-pending status in agreement with the NRC
4 staff and management last week, and these--the igneous
5 activity going to closed-pending also made the TSPA sub-
6 issues closed-pending as well.

7 So consistent with proposed Part 63 which is final
8 if not nearing finalization--I see Bill Reamer in the
9 audience--consequences of igneous activity must be evaluated
10 since the probability of an igneous event is greater than 10
11 to the minus eight per year.

12 Focus of interactions with NRC are on consequence
13 analysis for a low probability event. And I believe members
14 of the Board staff attended the KTI meeting on igneous
15 activity, if I'm not mistaken.

16 Page 14, a little more detail on igneous activity.
17 We're going to be looking at soil suspension effects, doing
18 some more technical work to establish and then defend our
19 position with respect to this KTI. We're looking at effects
20 of repository and contents on magma flow, response of waste
21 packages to magmatic conditions, and the potential for
22 incorporation of high level waste in magma.

23 So that's just to provide you kind of a flavor for
24 the areas that DOE has committed to do additional work.

25 In order to support the NRC sufficiency review, DOE

1 has had to demonstrate adequate progress towards meeting the
2 KTI agreements to provide confidence that we will meet the
3 commitments that we have made, and also adequate plans and
4 progress for resolution of quality assurance implementation
5 issues, which I know most of you are very familiar with.

6 The intent of the KTI agreements is to insure a
7 complete application. We believe it will also facilitate NRC
8 staff acceptance and review of that application. So in
9 summary, I think the KTI process, although extremely labor-
10 intensive for NRC and their contractor at the center, and for
11 DOE and our staff as well, it has provided a very useful
12 framework for pre-licensing interactions with the NRC. It is
13 also I believe the first time in the history of this program
14 where DOE and NRC have a clear understanding of the
15 regulator's expectations for information needed to support a
16 potential license application. So over the course of the
17 last 12 months we've had, I believe, 17 of these interactions
18 with the NRC, but I think we've made substantial progress.
19 And DOE is committed to address all the agreements prior to
20 submittal of a potential license application.

21 That's the end of my formal remarks. I'll be happy
22 to take any questions that you might have.

23 WONG: Thank you, April. Questions from the Board?
24 Dan Bullen?

25 BULLEN: Bullen, Board.

1 First I'd like to complement you on the
2 interactions because I've been to a couple of these KTI
3 exchanges and they are very intense and they come up--they
4 take a lot of time and a lot of effort.

5 I have a couple of questions and you alluded to one
6 because you mentioned that the igneous activity going to
7 closed-pending also took some of the closest forms of
8 assessment issues to close-pending also, and I guess could
9 you illuminate a little bit more on that because I guess I
10 was there four weeks ago when they were still open issues and
11 I was wondering which issues got closed and why. And how?
12 Could you give us a little more information on that?

13 GILL: Sure. It was the TSPA, igneous consequences, I
14 believe. Can anybody help me with this? And we held it open
15 during the TSPA meeting with specifics in the meeting summary
16 that if and when the igneous activity items came to closed-
17 pending that they would automatically close out the TSPA.
18 So we had a forward reference to the igneous activity meeting
19 with the positive expectation on the part of DOE that we
20 would be able to reach closed-pending on that issue. And I
21 can get you more details on that.

22 BULLEN: Maybe we could talk about that off-line because
23 I'd like a little more detail.

24 GILL: Okay.

25 BULLEN: I have a couple of more, sort of more

1 fundamental questions. Each of these deliverables that are
2 identified in the resolution of these--of the status
3 resolution reports identifies a time frame for delivery. And
4 sometimes that time frame delivery is a year or two years.
5 What's the range of delivery and is that delivery contingent
6 upon the ability of DOE to do the work. I mean you'd have to
7 have the money and the opportunities to do that. Could you
8 speculate or maybe give us a little bit of information on
9 what the current range of the agreements are and how firm
10 those dates are?

11 GILL: Sure. The range goes from fiscal year 2002,
12 which we're about to enter, all the way to submittal of a
13 license application. And wherever possible where we have in
14 the near term specific products planned with completion
15 dates, we give those in the agreement.

16 Now, at the beginning, last August, when these KTI
17 technical exchanges first started, we had tied a number of
18 agreements to TSPA SR, or to analysis model reports and
19 process model reports that we believed at that time would be
20 completed last spring. However, since that time our program
21 has had some major changes and the NRC has been very
22 accommodating in reevaluating these agreements and tying them
23 to specific product in the future. So it's with the--we go
24 in with the understanding that these are DOE's good faith
25 best estimates on our present funding level and the status of

1 our program that we will complete these agreements.

2 BULLEN: Bullen, Board. You were still a little bit
3 nebulous because you said up to the time of submittal of
4 license application. Were there firm dates identified for
5 them or did you leave it as open as that--that if license
6 applications time frame slips from 90 days after the set
7 recommendation which the law says, to whenever, could you
8 identify when the "whenever" was, or you just left it at
9 license application?

10 GILL: I think the latest date we have in there is FY
11 04. But a lot of them are tied to just before submittal of
12 the license application without a specific date.

13 BULLEN: Thank you. One last little quick question with
14 respect to the QA issues, with respect to trying to get all
15 this done. If it is all going to be in support of license
16 application then all the challenges that have been identified
17 with respect to the QA program has to be addressed and also
18 rectified? Is that correct, or--

19 GILL: Yes, and we have committed to do that, to have
20 100 percent data qualification at the time of license
21 application. The NRC was understandably very concerned about
22 the status of data qualification, software qualification and
23 model validation because of exactly what you have alluded to,
24 Dr. Bullen, and that's the 90-day link between sight
25 recommendation and license application. And also the way the

1 Waste Policy Act states specifically the link. So they were
2 very concerned about it, but it's for license application. I
3 hope that answers your question.

4 BULLEN: Yes. Bullen Board, just one last issue. You
5 raised all the issues that I talked about. You mentioned
6 data qualification but also model validation verification and
7 essentially all interfaces necessary to docket a license.
8 Basically, all the QA requirements are going to be met then?

9 GILL: Yes, sir, that's correct.

10 BULLEN: Thank you.

11 WONG: Priscilla Nelson.

12 NELSON: Nelson, Board.

13 The question I want to ask has to do with which of
14 these KTIs, or tell me how the KTIs and your response to them
15 have captured flexible design, including low temperature
16 operating mode. And have there been additional questions
17 raised associated with the information to evaluate the low
18 temperature operating mode?

19 GILL: Well, as a matter of fact, our last KTI meeting
20 was scheduled for the end of this week and it was to address
21 the range of operating temperatures. And the plan, Dr.
22 Nelson, was to look at the KTI agreements that we had made
23 which were operating under the hot regime and look at what
24 effect introducing a range of operating temperatures to the
25 design could have on those KTI agreements. And as of

1 yesterday we had fully expected to have that meeting at the
2 end of this week where we would go through specifically each
3 KTI agreement and look at the potential effect having a
4 repository design on the cooler end of the range would have
5 on the KTI agreement. So that's kind of to be determined,
6 but it was in our planning to do that meeting the end of this
7 week. I don't know if the--what has happened today will have
8 an effect on that.

9 NELSON: So there has been no discussion about low
10 temperature operating mode before now, this coming meeting?

11 GILL: Well, I didn't mean to mislead you. We also had
12 an interaction that was not part of the formal KTI process on
13 the supplemental science and performance analysis report. It
14 was about three weeks ago, where we walked through the SSPA
15 with the NRC staff. And we talked at some length about the
16 cooler operating mode at that time. So it was kind of an
17 introduction to them so that this meeting at the end of this
18 week on the comparison of the two would be more productive.

19 NELSON: Thank you.

20 WONG: Don Runnels.

21 RUNNELS: Runnels, Board.

22 April, just a question about communication. DOE
23 has come under a lot of criticism for its mode of
24 communication with the public. These are public meetings.
25 How does the public know ahead of time that these are going

1 to happen? And secondly, based upon the 17 that you've had
2 so far, do you have public--non-technical public, non-DOE
3 public, board public, etcetera, participate?

4 GILL: There are a number of ways that the public is
5 made aware that these interactions are going to take place.
6 And you are right, they are very public. We've had a number
7 of them at casinos, in conference rooms. So some of the
8 criticisms that the department has had recently about having
9 the SR hearings at a DOE facility would not apply. Some of
10 the other meetings have been at our Bechtel SAIC offices.

11 One of the ways that the public can find out about the
12 meetings is the NRC announces these formally. There is
13 letters that go out. They are also noticed on their web
14 page. And at each meeting we usually look ahead at when the
15 next meeting is going to be so those people in attendance at
16 a previous meeting could tell about a future one.

17 With respect to the second part of your question on
18 whether or not members of the public actually come to these
19 meetings, I would say, unfortunately, no. We usually get
20 these same representatives from the State of Nevada and
21 Nuclear Waste--Nevada Nuclear Waste Task Force. Very
22 infrequently, I would say, do we get just interested members
23 of the public. It's usually people who have a specific
24 interest or responsibility, such as the press.

25 WONG: Dan Bullen promises that his question will only

1 last nanoseconds.

2 BULLEN: Bullen, Board. Thank you, Chairman Wong.

3 Actually, Dr. Nelson illuminated a question that I
4 want to follow up on because you mentioned that taking a look
5 at the lower temperature operating modes was one of the
6 things you did with the NRC staff as you walked through the
7 SSPA about three weeks ago. And I guess I'd like a little
8 reconnaissance report on the NRC's response.

9 At our joint panel meeting in the summer, the NRC
10 expressed some concerns that there be a design chosen for the
11 license application and maybe even for the sufficiency
12 requirement for the site recommendation. And, has there
13 been--what kind of comments did you get as you introduced the
14 low temperature operating mode, and was there consternation
15 by the NRC in their abilities to identify the changes in the
16 KTIs and to resolve the issues necessary prior to the
17 sufficiency requirement, or were they not concerned?

18 GILL: I hesitate to speak for the NRC. I can tell you
19 what my personal point of view was. I did not attend this
20 meeting personally, but I was detailed into it.

21 BULLEN: Well, if Ed could give his personal opinion
22 yesterday, feel free today, April. That would be great. I'm
23 asking for a little bit of espionage here, so if you could
24 just sort of clue me in because I couldn't make it to the
25 meeting.

1 GILL: I would say it has been a challenge for us
2 primarily because the only document where the range of
3 operating temperatures is really fully explored is in the
4 supplemental science and performance analysis report, which,
5 as you well know, was prepared under our project quality
6 assurance program; however it used data and software that has
7 not been fully qualified. So the NRC is very concerned about
8 the cue status of that document and the fact that if DOE is
9 going to be basing some of its decisions on that document we
10 would need to, of course, have everything qualified. So I
11 think that's one of the--my primary recollections and area of
12 concern from that meeting. We've got people here in the
13 audience who were actually technical presenters at that, if
14 you would like some more details, but I would say in general,
15 the NRC has been very accommodating.

16 We've had a number of telecons to get ready for the
17 technical exchange that was scheduled for the rest of this
18 week. They had well over 100 questions on exactly how the
19 potential to change the operating temperatures would impact
20 the KTIs. So I would say they are very engaged and concerned
21 about this. I'm not familiar with the specific technical
22 issues that they are raising, but if you need more
23 information I see Rob Howard is standing up to assist me.

24 BULLEN: Bullen, Board.

25 I can get this information off line. I just wanted

1 to try and get a feel for the impact of this kind of change
2 on the KTI resolutions, which I think is what you're trying
3 to address. But, thank you very much.

4 NELSON: Now, I know what a nanosecond is and that was
5 no nanosecond.

6 BULLEN: Dr. Nelson, you forget I'm a nuclear engineer.
7 I can play with special relativity as much as I like, so I
8 could define the time frame, however. Thank you.

9 WONG: You guys used up all Dick Parizek's time. Dr.
10 Parizek.

11 PARIZEK: Parizek, Board.

12 In terms of sufficiency reviews I assume that the
13 whole KTI process for closed-pending review would be similar
14 to what's been done to date by NRC, you know, the things that
15 are still to be delivered. You'll get a review and comment
16 on sufficiency of new deliverables?

17 GILL: Well, that was the purpose of the KTI process.

18 PARIZEK: Yeah, and then therefore the license
19 application we would assume would not get submitted until
20 such time as all are closed?

21 GILL: Correct.

22 BULLEN: Go right ahead, Sherman.

23 WONG: Okay, sorry. Dr. Diodato?

24 DIODATO: I'll defer in the interests of time.

25 WONG: Okay. Dr. Metlay?

1 METLAY: Dan Metlay, Board staff.

2 April, just a real quick question. I'm not sure
3 you answered this question when you responded to Dr. Nelson.
4 How does the possibility of a lower temperature operating
5 mode affect NRC's sufficiency comments?

6 GILL: Well, I would say that that's the purpose of the
7 last key technical issue, technical exchange, that we're
8 going to have on the range of operating temperatures because
9 the NRC is obviously very interested in the potential impact
10 that a possible DOE design change could have on agreements
11 that were made based upon a hotter design.

12 METLAY: So, if I can just follow up. It's at least
13 imaginable that an issue that was closed or closed-pending
14 based on a higher operating temperature may become open given
15 the possibility of a lower temperature operating mode?

16 GILL: Well, I'm not an engineer, sir. I'm a geologist,
17 but--

18 METLAY: Concerned scientist.

19 GILL: Yeah. In my humble opinion, it seems intuitive,
20 and I know there's danger in using intuition, that a
21 potential lower operating mode would simplify things and not
22 make them more complicated. I really can't speak to what the
23 NRC is intending on doing, but we should know within a couple
24 of weeks exactly what the answer to your question is. Unless
25 the NRC would care to answer. There's representatives from

1 the NRC here today.

2 WONG: Thank you, April. I'm not going to let Dan
3 Bullen torture you.

4 GILL: Thank you so much.

5 WONG: Thank you. We are not trying to be time bandits
6 here, but we are trying to keep a schedule. But there is an
7 announcement now to be made by Rob Howard.

8 HOWARD: This is for all of the Bechtel SAIC staff. We
9 are not to return to our office facilities today after this
10 meeting, so once you are finished here today, go home. Don't
11 go back to the office today. That's all the information I
12 have. I don't have any information on what our actions are
13 for tomorrow.

14 WONG: Okay. With that, we are scheduled to have a
15 break. It is now 10:20 by my watch here. And we're
16 scheduled for a 15-minute break, so since we have a gift of
17 time, I'd like to see everybody back here in 15 minutes.

18 (Whereupon a recess was taken.)

19 WONG: I think the only person here that can read time
20 is Scott Ford and Lake Barrett.

21 All right, so we're going to move on to the next
22 presentation, which is going to be the Summary of Preliminary
23 Site Suitability Evaluation. Mr. Sullivan is not here, so
24 the presentation today will be provided by Carol Hanlon, and
25 she is the Manager of the Site Recommendation Program, and

1 again, she is with the Yucca Mountain Project. Carol?

2 HANLON: Thank you, Dr. Wong.

3 My name is Carol Hanlon and I'm here with you today
4 to discuss some considerations in the development of a
5 preliminary site suitability evaluation. The evaluation was
6 released August 21st of this year. So in doing so I will
7 discuss with you just briefly the basis for the site
8 suitability evaluation, the preliminary site suitability
9 evaluation summary, evaluation results and, finally,
10 conclusions.

11 In developing the preliminary site suitability
12 evaluation we not only were cognizant of our own departmental
13 regulations and proposed siting guidelines, we were also
14 cognizant, of course, of Nuclear Regulatory Commission's
15 proposed regulations as well as Environmental Protection
16 Agency's standard. That is required by the Nuclear Waste
17 Policy Act. It requires, as Dr. Czyscinski discussed this
18 morning, the Environmental Protection Agency to promulgate
19 standards for protection of the environment in accordance
20 with the Nuclear Waste Policy Act and the Energy Policy Act
21 of 1992. The Environmental Protection Agency has issued
22 final 40 CFR Part 197.

23 As Ken discussed this morning that establishes
24 environmental radiation protection standards, including
25 preclosure public protection standards, post-closure

1 individual protection standards, human intrusion scenario
2 discussion, and groundwater protection standards.

3 Nuclear Waste Policy Act also requires the Nuclear
4 Regulatory Commission to establish requirements and criteria
5 relating to receipt of high level radioactive waste or spent
6 fuel. Waste Policy Act requires Nuclear Regulatory
7 Commission to adopt and implement the EPA standards. These
8 requirements and criteria apply to applications for
9 authorization to construct a repository, applications for
10 licenses to receive and possess spent fuel, high-level
11 radioactive waste, applications for authorization and
12 closure--for closure and decommissioning.

13 Proposed Nuclear Regulatory Commission's, or as I
14 understand those which are about to become final in the very
15 near future, the Nuclear Regulatory Commission proposed
16 technical and licensing criteria for the Yucca Mountain Site
17 to be codified at 10 CFR, Part 63, and they include radiation
18 protection requirements for preclosure operations. Those are
19 included in proposed 10 CFR 63.111, an integrated site--
20 excuse me--an integrated safety analysis to demonstrate
21 compliance with the NRC requirements in the Geologic
22 Repository Operations Area through permanent closure period.
23 And that is in proposed 10 CFR 63.112.

24 Also includes performance objectives, performance
25 assessment requirements to demonstrate compliance with

1 radiation protection standards after permanent closure,
2 contained in 10 CFR 63.113 and 10 CFR 63-114. Includes
3 additional requirements for licensing, such as retrieval of
4 performance confirmation and so forth.

5 DOE proposed siting guidelines to be codified at 10
6 CFR 963 were proposed November 30th, 1999. Final rule is
7 contingent on Nuclear Regulatory Commission concurrence. The
8 proposed rule is based on technical requirements in Nuclear
9 Regulatory Commission's proposed licensing rule. Proposed
10 rule would also include preclosure and post-closure criteria
11 reflecting processes and models that are important to
12 repository system performance at Yucca Mountain. In
13 addition, site suitability would be based on applicable
14 radiation protection standards established by the EPA at
15 10 CFR, Part 197, as implemented by the Nuclear Regulatory
16 Commission.

17 DOE's proposed preclosure suitability guidelines
18 include a safety evaluation method that is consistent with
19 the preclosure integrated safety analysis required in
20 10 CFR 63.112. DOE's regulations also emphasize performance
21 requirements, analytical bases, and technical justifications
22 and evaluations to assess the adequacy of design and safety
23 functions. And we addressed applicable preclosure radiation
24 standards contained in proposed 10 CFR 63-111 and 40 CFR 197.

25 DOE's proposed post-closure suitability guidelines

1 include a method for conducting a total system performance
2 assessment that is consistent with the method required in
3 10 CFR 60.114 (a) through (j). Requires the acquisition of
4 field data, accounting for uncertainties, consideration of
5 alternative models, and a structured method for evaluating
6 features, events, and processes that might affect
7 performance.

8 DOE's proposed post-closure suitability guidelines
9 state that DOE will consider performance of the system in
10 terms of the likely compliance with the applicable radiation
11 standards. The standards include individual protection,
12 groundwater protection, and human intrusion scenario.

13 As I said, in August of this year DOE issued
14 Preliminary Site Suitability Evaluation to evaluate public
15 review and comment on a possible site recommendation. It
16 considers the--this document, Preliminary Site Suitability
17 Evaluation, considers scientific investigations and
18 preliminary design descriptions in the body of technical work
19 completed to date, as summarized in the Yucca Mountain
20 Science and Engineering Report, as well as the Supplemental
21 Science and Performance Analyses document. It will be
22 discussed later, by Rob Howard, this afternoon.

23 Suitability evaluation also provides preliminary
24 evaluations of the compliance with DOE's proposed siting
25 guidelines, and it addresses the EPA final radiation

1 protection standard.

2 Preliminary site suitability evaluation has
3 considered the Supplemental Science and Performance Analyses
4 Report in terms of the evaluation of the significance of
5 uncertainty and the degree of conservatism or optimism that
6 was not quantified in TSPA-SR Rev 00 ICN 01, just for
7 completeness. The evaluation--it also, the PSSE also
8 addresses the evaluation of significant new information
9 available since completion of that TSPA. Additionally, it
10 also includes additional analysis of thermal dependencies to
11 more fully evaluate effects of coupled processes and the
12 thermal operating mode on system performance. That includes
13 a comparative TSPA analysis using supplemental TSPA model
14 over a range of possible thermal operating modes.

15 As I said, Rob will discuss the Supplementary
16 Science and Performance Analyses in more detail. It has two
17 volumes, Volume 1 focusing on technical work within each
18 process model area, encompassing uncertainty quantification,
19 updated scientific bases, and analysis of range of operating
20 modes.

21 And, just for your information those subjects
22 are organized in a manner similar to that found in the Yucca
23 Mountain Science and Engineering Report.

24 Volume 2 documents analyses that provide insight
25 into the effects on total system performance assessment, and

1 the information in Volume 1.

2 Moving on to the suitability evaluation itself,
3 there's four sections. Section 1 is an introduction, Section
4 2 contains the preliminary preclosure suitability evaluation,
5 Section 3 is preliminary post-closure suitability evaluation,
6 and Section 4, summary of the results.

7 In terms of conducting a preliminary preclosure
8 suitability evaluation, we proceeded from the bottom box on
9 the left-hand corner in evaluating structure systems,
10 equipment, operator actions, looking at design basis, limits
11 on operations, adequacy of facilities to perform their
12 functions, hazards, event sequences, consequences and site
13 characteristics, surface and underground facilities. That
14 information was documented in a number of areas, including
15 the preliminary preclosure safety assessment, the design
16 documents and system description documents.

17 In addition, we looked at our ability to preserve
18 the option to retrieve waste during preclosure period and
19 that evaluation was documented in the retrieval equipment and
20 strategy documents as well as system description documents.
21 Those fed into our evaluation process to evaluate whether the
22 site is likely to meet applicable radiation protections and
23 standards and to consider the performance of systems in terms
24 of the criteria. That was documented in the Preliminary Site
25 Suitability Evaluation, as I said, Chapter 2.

1 And, the summary of the Preliminary Preclosure
2 Suitability Evaluation looks at dose to repository workers
3 during the preclosure period. It would fall below the limits
4 specified both in EPA radiation protection standards and the
5 formerly proposed NRC requirements. So it was below both.
6 Dose to individual members of the public for normal
7 operations and category one. Design basis events would fall
8 below limits specified in EPA radiation protection standards
9 and proposed Nuclear Regulatory requirements.

10 The next slide is a slide that shows the standards,
11 the limits, and the preliminary results. I'll let you look
12 at that in more detail at your leisure, but you can note by
13 looking at the right-hand column that the preliminary results
14 fall far below the limits in the standards.

15 Moving on to the structure of the preliminary post-
16 closure site suitability evaluation beginning again on the
17 lower left-hand corner, the process was developing process
18 models and empirical observations which were documented in
19 the Process Model Reports, as well as in the Analysis and
20 Model Reports. Those were used both to provide the technical
21 basis for the total system performance assessment models as
22 well as to provide technical bases for the features, events
23 and processes evaluations, and to identify and use data
24 related to criteria.

25 That next box, the blue box, was documented in

1 features, events and processes documentation screening, as
2 well as model abstraction. And both of those fed up into the
3 total system performance assessment SR where we conducted the
4 total system performance assessment accounted at that point
5 for certain uncertainty and variability in conducting
6 sensitivity analyses.

7 Finally, moved to preliminary site suitability
8 evaluation itself and evaluated whether we believed that,
9 based on that information, the site was likely to meet
10 applicable radiation protection standards, identified natural
11 and design features which were important to isolating waste,
12 evaluated post-closure suitability considering suitability
13 criteria.

14 Just a bit of a schematic that indicates our
15 process for looking both at the nominal waste scenario as
16 well as human intrusion. In number 1, the TSPA, we looked at
17 the TSPA without human intrusion, with the nominal scenario
18 and disruptive scenario. We evaluated both of those against
19 the TSPA projection and compared them with applicable
20 standards.

21 In terms of the TSPA for human intrusion, we
22 included in human intrusion we got, compared it with the TSPA
23 projections for annual dose over time, evaluated against TSPA
24 projections for annual dose over time and compared it with
25 the applicable standards.

1 So moving on to the curves, you can see in this
2 first curve that in comparison with the TSPA-SR information
3 that we obtained from the Supplemental Science and
4 Performance Assessment indicated that the releases began
5 earlier, but were considerably lower than the projections in
6 TSPA, and that is because of the new information we have.
7 The refinement of the uncertainty discussion, and the earlier
8 release of course comes from the fact that we have chosen to
9 incorporate early failures.

10 Next slide shows the results of evaluating the mean
11 concentration of gross alpha activities and total radiation,
12 radium, excuse me, groundwater. And, of course, that comes
13 from an evaluation against the EPA standards. This
14 particular slide is for high temperature operating mode.

15 Next, temperature in the next slide is for lower
16 temperature operating mode.

17 Moving on to the next slide, we have the projected
18 annual doses for igneous activity. The bottom slide in
19 black, the bottom curve in black, was that, from the TSPA-SR,
20 the higher slide, the higher curve in blue, this blue over
21 red initially showed the supplemental science and performance
22 assessment modeling, shows that earlier because of changes to
23 does conversion factors, evaluation of changes in wind speed,
24 initial probability of eruption, increase in conditional
25 probability of eruption and increase in total number of

1 erupted scenarios, that is higher than was established in the
2 TSPA-SR.

3 Moving on to the next slide, we have compared total
4 mean dose histories for human intrusion scenarios with both
5 human intrusions occurring at 100 years and at 10,000 years,
6 and you can see that at the time varied--the time may vary,
7 but the doses released are approximately very, very close and
8 there are orders of magnitude, approximately three orders of
9 magnitude below the EPA standard.

10 So, in summary of our results, summary of
11 preliminary post-closure suitability for individual
12 protection, the dose estimates from combined nominal scenario
13 and disruptive scenarios both fall below the limits specified
14 in the Environmental Protection Agency radiation protection
15 standards of 15 millirem per year, as well as the NRC
16 proposed post-closure performance objective of 25 millirem.
17 Of course, that's what we had to work with at the time we
18 were finalizing the Preliminary Site Suitability Evaluation
19 that will now be conformed to EPA's. Groundwater
20 concentrations calculated would fall below the EPA
21 groundwater protection standard, and the human intrusion
22 related release calculated would also fall below EPA
23 radiation protection standards. And you can see those again
24 in the next slide, Summary of Post-closure Dose Limits and
25 Preclosure--excuse me, and Preliminary Results. And again

1 it's broken out into standards, the limits, and the annual
2 dosage, and you can see that that right column again is far
3 below the limits in the standard.

4 So, in summary, Preliminary Site Suitability
5 Evaluation documents a preliminary evaluation of the Yucca
6 Mountain standard against criteria proposed at 10 CFR Part
7 963; reflects consideration of analytical requirements are
8 consistent with the technical approach embodied in the
9 Nuclear Regulatory Commission's proposed regulation, 10 CFR
10 Part 63. It presents the results of preliminary preclosure
11 and post-closure evaluations of suitability over a range of
12 thermal operating modes, and it shows that the calculated
13 doses fall below EPA's radiation standards and the proposed
14 NRC performance objective.

15 That concludes my presentation and I'd be happy to
16 take any questions or comments your might have.

17 WONG: Thank you, Carol. Questions from Board? Deborah
18 Knopman?

19 KNOPMAN: Knopman, Board.

20 Can you explain why in the presentation of the
21 Preliminary Site Suitability Evaluation Executive Summary
22 there is no description of ranges of estimated performance,
23 only point mean estimates after all conversation about
24 uncertainty and presentation of uncertainty?

25 HANLON: I think I'm going to turn to Candy for that

1 question, too, but also the executive summary itself was to
2 hit the high spots, and explanations of the high spots. And,
3 there are other places in the Preliminary Site Suitability
4 Evaluation where those discussions are--is Candy here?
5 Candy, did you hear that question? Or Rob?

6 HOWARD: This discussion--oh, this is Rob Howard,
7 Bechtel SAIC.

8 These discussion's in the summary section weren't
9 meant to discount all discussions we've had with this Board
10 and other review bodies with respect to uncertainties, but
11 the criteria was against the mean, not the range of
12 uncertainty, so I think that was part of the point.

13 KNOPMAN: Part of the point is presentation of
14 information to decision makers and the public. All right?
15 And this is the key--key document that is communicating
16 information about this site. I'm just bewildered. I'm sure
17 there is an explanation. I know it's simpler, but--

18 COHON: This is Cohon, Board. I'd like to follow up on
19 this and make it as forceful as possible. Could you go to
20 Slide 24?

21 You are communicating to the Board--it said the dose
22 estimates would fall below the limits. Doesn't say mean
23 dose. I couldn't concur more strongly with Deborah. I mean
24 it just--it is mind-boggling that you would make a
25 presentation like this that does not acknowledge in any way

1 the uncertainty associated with these estimates.

2 WONG: Further questions from the Board or its staff?

3 (No response.)

4 WONG: I have a question. It's related to the KTI
5 documents. How will the KTI and all the information being
6 reaffirmed or affirmed or generated be integrated into this
7 set of documents?

8 HANLON: Basically, they are on a separate track. The
9 key technical issues and the technical exchanges that are
10 being conducted with the Nuclear Regulatory Commission are to
11 address specific concerns that they have on performance
12 points that they are very concerned, and they may have
13 identified those as--in issue resolution, IRSR, Issue
14 Resolution Status Reports. And so, based on those Issue
15 Resolution Status Reports and the key technical issues that
16 they are interested in, we've conducted the set of meetings
17 over the last many months of preliminary site suitability
18 evaluation. The next suitability evaluations are for the
19 purposes of addressing the department's own proposed, and
20 later final, guidelines. So they have two different purposes
21 and they are basically on separate tracks. The information
22 that's used for the KTI evaluations was and will be included
23 in the suitability evaluations as they were addressed in the
24 Science and Engineering Report, and considered additionally
25 in the SSPA. But they are basically on two different tracks.

1 WONG: Okay, thank you. Dr. Bullen?

2 BULLEN: Bullen, Board.

3 I guess along the lines of a follow-up to this
4 question then, will there be a reanalysis based on the new
5 standards that's out from the EPA? I noticed that your
6 groundwater standard is essentially for 1285 acre feed at 20
7 kilometers, and we just heard from the EPA it was going to be
8 a 3000 acre feed at 18 kilometers, and so will you rectify
9 the differences between--that's just an example, but all the
10 other differences between the dose standards from the EPA and
11 the NRC?

12 HANLON: I'm not sure what you're reading from, Dr.
13 Bullen. But in fact, the Preliminary Site Suitability
14 Evaluation was released after the EPA was final, so we were
15 aware of that and we tried, to the extent possible within
16 that time frame, to rectify it, and I believe we did conclude
17 the 3,000, and we did an evaluation against the 18 or the NTS
18 southern boundary. So, to the extent possible, we did at
19 that time evaluate the differences and correct.

20 And Rob has something else he'd like to say.

21 HOWARD: In the analyses that were presented in the PSSE
22 and in the SSPA, as you recall those analyses were being done
23 at the time the standard was released, so the PSSE has
24 sensitivity analysis at the process level. We did not do any
25 calculation for 18 kilometers.

1 There was also additional sensitivity analysis for
2 the different critical groups. We are doing additional
3 analyses now to evaluate what the implications are of those
4 standards, but they are not documented in the--the TSPA
5 calculations are not documented in the PSSE or the supporting
6 documents for those standards.

7 BULLEN: Bullen, Board.

8 As a follow up to that, will they be done before
9 the SR, and in support of it? I mean this is a document as
10 Jerry mentioned is going to be the basis for decision makers
11 to look at. Will those--I mean you want to get everything
12 self-consistent if you can hand the package to the secretary,
13 right?

14 BROCOUM: Russ Dyer yesterday told you the (inaudible)
15 basis for the SR was his presentation, but there's a few
16 extra things that will be coming in as work goes on. The
17 first is a letter report that's being completed right now
18 which does the TSPA against the 18 kilometer exactly. What
19 they did to the PSSE, they--when the new standard came out,
20 they made--I want to use the word extrapolation. Would that
21 be an accurate--they made extrapolation to 18 kilometers from
22 the 20. But the actual TSPA calculations is being done to 18
23 kilometers, and that report will be out this month. It's a
24 letter report.

25 The second thing, we're--in November we'll be

1 issuing another letter report that looks through all the
2 information we've collected since the SSPA and the SR issue
3 and see if that has any impact on the clues we have reached,
4 and that will be coming out in November. So those two
5 reports will be coming out this Fall to supplement
6 information done so far. Of course, the PSSE will be updated
7 to incorporate the latest standards, including a final
8 standard as soon as--when it becomes final.

9 WONG: Would you identify yourself for the record,
10 please?

11 BROCOUM: Steve Brocoum, DOE.

12 WONG: Lake, do you have any comments?

13 BARRETT: Lake Barrett, DOE.

14 Let me try to explain a little bit about PSSE
15 summary as it was in the front, and the frustrations that you
16 have, okay? And we had some of the same, as we went through
17 generation of that document. That document is very much a
18 legal document. This is very much a legal document that has
19 went through the channels, through the Court, etcetera. So,
20 as we put that document together we had the lawyers very much
21 involved, as well as ourselves. We are well aware of the
22 dialog that went on in one of the previous meetings and
23 explained to the decision-makers, etcetera. This is not that
24 document. This document was primarily a legal document. We
25 are working to find a improved way to communicate with the

1 general public and certainly to decision-makers. So we
2 recognize that this is not the end-all document. It is the
3 Preliminary Site Suitability Evaluation. One that I support,
4 I stand behind. It was not my first choice going into the
5 lawyers regarding what we had.

6 Now, I believe there is going to be a way that we
7 can address the uncertainties, address the range, and some of
8 the frustrations I sense on the Board, in subsequent
9 documents yet to come out. And, I would ask the Board's
10 indulgence to try to wait a little bit. I know it's probably
11 very frustrating as to how long this will take to do some of
12 these things in many different areas. But that's really kind
13 of what happened with this and that's why you do not see it
14 in that document. But we are going to bring, commit to bring
15 that across in a method that I just don't know what it is
16 yet.

17 KNOPMAN: Jeff, may I follow up? Knopman, Board.

18 I went through the whole document and it reminded
19 me of the volume 2 of SRCR, just looked like a compliance
20 document, is the way it reads. It's not a narrative about
21 how this thing is going to work and what we know, and--well,
22 to some extent it's what we know. But maybe you could
23 explain what the legal argument is, what the lawyers told you
24 about why a range of estimates could not be included.

25 BARRETT: What--on any issue, not yet the non-issue. On

1 anything that you've got to meet a standard, you know the
2 lawyers would advise you and you know it's going to be
3 challenged. Just say what you need to meet the standard and
4 don't say anything else.

5 Now, in our view, we believe we meet the EPA
6 legally-designated standard in the NRC 63 by many orders of
7 magnitude. Yes, their own certainties, etcetera, as you all
8 know very, very well. So as we engaged with the lawyers and
9 tried to construct something here, we were not successful
10 with it in the Preliminary Site Suitability Evaluation.
11 That's all I can say, but they start off by saying, "Don't
12 say anything extra because whatever you say will be used
13 against you when you put in additional, quote, helpful
14 information." And there are many things the lawyers will say
15 on that issue, but when you start putting in helpful
16 information, you've jeopardized a lot of things, so in the
17 legal--in legal defense. But then again a public--public
18 information aspect, these are competing goods, we say. And
19 so that's what we're trying to wrestle with.

20 I recognize, and we all recognize that the PSSE,
21 you know, does not do some things that we want it to do, but
22 I believe it fulfills all legal requirements. I don't
23 believe it fulfills what is your frustration and some of our
24 frustration, but we're not done yet. This is a Preliminary
25 Site Summary Evaluation. We do believe firmly that we do

1 meet the standards and we should start the process, but it is
2 not a good communication document. It is not what is our
3 commitment, let me say, to decision-makers as we have made in
4 many meetings before about communicating to ranges to the
5 best of our ability. And that is not in the executive
6 summary.

7 KNOPMAN: Lawyers were aware that this was the document.
8 This was a key document that was going to be used for the
9 basis of public hearings.

10 BARRETT: Yes. Yes, they are, and they looked at it
11 from a legal defensibility point of view, and we needed that,
12 okay? But nonetheless, the balance of this is, one, I do
13 support the document. We support it, you know, but it was--
14 it has some--we want to do more in certain areas and
15 certainly you are right on one, that we need to do more on
16 it.

17 COHON: Cohon, Board.

18 I'm sympathetic, believe it or not, to that
19 response, having to deal with my own lawyers. The Board's
20 job of course though is we don't have to worry about that,
21 thankfully. So our job is to push on what we think are key
22 technical issues, including uncertainty. One could debate
23 whether the communication about uncertainty is a technical
24 issue or not. I happen to feel strongly that it is a
25 technical issue, at least related to technical practice. And

1 therefore, this issue of uncertainty in communication to
2 decision-makers and the public, I believe is something that
3 the Board can comment on. And I, frankly, I think the
4 lawyers, in focusing so strongly on EPA standards, are not
5 being sensitive to this suitability hurdle that you have to
6 get over; not well-defined, unfortunately, but that doesn't
7 help us very much. But one thing the Board has communicated
8 strongly to the program is that we believe uncertainty
9 quantification and communication related to your performance
10 estimates is key. And so, part of this may be related to the
11 long-standing confusion that pertains to suitability versus
12 licenseability. And the EPA standard really, and the EPA I
13 don't think ever thought about suitability. And that--that
14 wasn't their job. And so, I think that being so focused, and
15 constrained by your lawyers to focus on the EPA standard as
16 stated, really, it only addresses, in part, the suitability
17 change.

18 BARRETT: When we issued the proposed revision to 10 CFR
19 963 back in the mid-90s we made a fundamental policy decision
20 within (inaudible) to move--if this site was--met the duly,
21 legally-promulgated environmental protection standards and
22 health safety standards, you know, that based on the way the
23 law was, that this would be a suitable site, so that policy
24 became basically one. But we also recognized immediately
25 that in the communication, and there was a report of public

1 opinion type thing, that was necessary, but insufficient.
2 And that we needed to also address the issues that you have
3 driven on as well, so I think with these gentlemen, with what
4 you're saying, but we tried to split this, the program, into
5 technical sustainability, legal sustainability, and
6 sustainability in accord with public fairness. And we're
7 having difficulty struggling with the last one, with the
8 first two. But we have some plans that we are working
9 internally on to address the issues, and I guess--this is the
10 preliminary evaluation. We are not done yet. And, you know,
11 please await to see what we can do to try to rectify, not
12 only this situation, but other issues as far as uncertainties
13 and design work and things like that. So we are struggling.
14 We really are struggling to try to balance the sometimes
15 competing goods--and they are all good and they are all
16 right, and we're trying to down-balance and progress them all
17 fairly. So it is--I would just ask your indulgence to wait
18 to see if we can do some more. We are doing more. I mean,
19 now if it would be good enough you will have to judge when we
20 bring that forward to you.

21 WONG: Alberto?

22 SAGÜÉS: Thank you. Can we look at the number 19,
23 please? Also get through the schedule for the rest of the
24 meeting, the agenda and I--we may not be seeing this
25 particular curve too many times, maybe perhaps in connection

1 with Bob Andrews' presentation tomorrow, but in a different
2 context. So this may be a good time to bring this up,
3 although it's a little bit peripheral to your overall
4 presentation. But let's concentrate for a moment on the SSPA
5 projections. And the red curve represents--they have the
6 case, the blue color represents the cooler model. And what
7 would happen if, because of, say a person's scientific
8 ignorance, if that's all there is, indeed the localized
9 corrosion mode that develops and there is great likelihood
10 for it to develop on the high temperatures, and that of
11 course is not contemplated in the provision because I
12 understand that what we happen to call models at this moment,
13 they do not consider localized corrosion development. And
14 now there is localized corrosion development and there is
15 widespread pitting that develops and it tells us that that
16 pitting does penetrate through the two centimeters of C-22 in
17 a period of time which is relatively short. A couple hundred
18 years, something on that order. We have a big fat surprise
19 because of not enough development in present science, and I,
20 for one, think that that surprise would be more likely to
21 have in high temperatures than low temperatures, the way
22 localized corrosion tends to develop. How--what would that
23 do to the projections if there are any--is there any
24 likelihood that we will then be shooting up, all the way up
25 to the (inaudible) one level, which I think would create the

1 problem from expectations, the normal expectations
2 standpoint, right? If that--how far would that be--

3 HANLON: Dr. Sagüés, I think Rob is going to take a cut
4 at this right now, but I would suggest to you that in the
5 detailed presentation he gives on supplementary science and
6 performance assessment this afternoon, that might be a better
7 place for him to take it up in detail. But is there anything
8 briefly that you might want to say, Rob, as a prelude to this
9 afternoon?

10 HOWARD: Yeah. The question is, well, I think it's how
11 much waste package failure can the system tolerate? Is that
12 a reasonable summary of the question? What happens to these
13 curves?

14 SAGÜÉS: I guess you could say that. Suppose that you
15 end up with widespread pitting developing, say some time
16 during the hotter part of the period.

17 HOWARD: Right. Well, we have not done any calculations
18 particularly with pitting and the characterization of what
19 that failure looks like as far as how radionuclides would be
20 either advected or diffused out of the system. The igneous
21 intrusion analyses where you have on your, you know, 40 or 50
22 waste packages failing within a realization catastrophically
23 would give you some indication of those curves shifting up
24 several orders of magnitude. But again, the pitting--suffice
25 it to say that as the waste packages fail the dose rates are

1 going to go up, but to characterize that as far as EBS
2 releases I think would be speculative on my part, just that
3 it would go up--I couldn't give you a quantitative answer
4 right now.

5 SAGÜÉS: So if--I guess I'm just trying to think about
6 the curve in terms--maybe what is being said in a way is the
7 probability of that happening is so small, I mean if you were
8 to put it quantitatively to--probably we are wrong, you know,
9 with theories of corrosion, say. If the probability were
10 very high then that would result in a--that red curve would
11 climb up.

12 HOWARD: Yes.

13 SAGÜÉS: Way up, and maybe even not get it in right
14 compliance.

15 HOWARD: Right. I see.

16 SAGÜÉS: And in a way we could imagine at this moment
17 there is a multiplier of zero with that probability in that
18 particular model. And now, could it be possible perhaps to
19 do a little bit of quantification of uncertainty by saying,
20 okay, what is the chances that our corrosion scientists are
21 wrong now?

22 HOWARD: Yeah, I--

23 SAGÜÉS: What is that kind of number to that?

24 HOWARD: What are the chances of our corrosion
25 scientists being wrong? Well, I--put a probability to that?

1 SAGÜÉS: Right. There's more of the chances of zero
2 because, you know, saying that now we're sure that local
3 corrosion isn't going to happen, but that is a non-event.

4 HOWARD: Yeah. I don't think I can put a probability on
5 the chances of our corrosion scientists being wrong, would
6 be, I mean when I don't know what it is that I don't know I
7 usually put a uniform distribution on it. Another way to get
8 at the problem, I think that we're going to have to
9 quantitatively, as these so-called barrier (inaudible)
10 analyses that the--I have issues with that. I mean it's
11 another way to slice the problem to different a thought
12 experiment to get at what it means if they were wrong, so it
13 gives you a consequence. But to put a probability on it, I
14 have to scratch my head. Maybe I can give you an answer this
15 afternoon.

16 SAGÜÉS: I see. I see.

17 HOWARD: (Inaudible). Maybe this afternoon then, you
18 think because I really would like, you know, to--

19 HOWARD: I'll give it a shot.

20 WONG: Paul Craig.

21 CRAIG: Alberto, you've asked the right question as
22 always. But I think there is a number. They have made
23 implicitly the clear statement that the probability of any
24 corrosion mode, be it localized or general, is below one and
25 10 to the 8th per year. That is to say below the level of

1 regulatory concern. It's clearly implied by the way the
2 analysis has been handled and presented.

3 SAGÜÉS: And suppose there is the one percent chance
4 that the scientists are wrong? Wouldn't that--

5 CRAIG: Well, see what I mean, Alberto, it's how much
6 they are wrong, right?

7 SAGÜÉS: Right.

8 CRAIG: So it's the probability that they are outside
9 some range, and that goes to the (inaudible), the substance
10 issue. It's not just a matter of being right or wrong.

11 SAGÜÉS: Yes, but we can say--

12 CRAIG: But Rob's point also is it's interesting to
13 consider the consequences of being wrong. That's what you're
14 suggesting?

15 SAGÜÉS: Yes.

16 WONG: Any further questions from the Board? Board
17 staff? Thank you, Carol. Thank you very much.

18 With that that brings us to public comments, and I
19 turn the meeting back over to Dr. Cohon.

20 COHON: Thank you, Jeff. We have two people signed up
21 for public comments. Sally Devlin.

22 DEVLIN: Thank you. My name is Sally Devlin, and I'm
23 the public from, well, Nye County, Nevada.

24 And I just loved all the presentations because it
25 brought to the fore something that we, the public, are very

1 conscious of. And when my friend, Mr. Jared Cohon, said I
2 don't do anything with (inaudible) unless I talk to a lawyer,
3 and this is what Lake was referring to. And I will iterate
4 what happened at our NRC meeting in Pahrump some months ago.
5 And they came down and they talked about the licensing. And
6 they were effusive, offensive and obnoxious because they
7 talked down to us. And when the question came up is how does
8 one protest, and Larry told them how you do it. He said,
9 "Will it cost \$1,000,000, and he said yes.

10 And so it was not only offensive, but it really was
11 discouraging because I know and I say it in my heart that the
12 assumed uncertainties are so grand that this will be rejected
13 because it will kill the people. And that's what I'm going
14 to talk about today, about the cancers.

15 And the first thing I'm going to bring to you is,
16 again, talking about EPA's standards and what have you. And
17 I am no longer Sally Devlin, ignoramus and the public, but I
18 am Loren Moy from Berkeley, Ph.D and so on, with the tooth
19 fairy program. And unfortunately her car broke down so that
20 we talked extensively and she tried to give me information.
21 So just call me Loren Moy for a minute. I'm wearing a
22 different hat.

23 But this is what she taught me. She said the EPA
24 has standards for all the elements, and there are 117
25 isotopes of uranium and all this enormous volumes. EPA sent

1 me a book with 2,000 of these things. Lovely. I'm delighted
2 and I give it to friends who want to know what the 2,000 are.
3 But for me it really doesn't mean anything because I am not
4 a scientist and so this is what she gave me.

5 One was the gases, and I hope I'm saying this
6 right, and I expect everybody to correct me when I'm wrong,
7 is krypton. And, krypton breaks down into yttrium and
8 strontium 90. And, what happens is, and these are in
9 immeasurable quantities, whatever that means, and I'm
10 assuming they are seen microscopically for a minute like A
11 Argonne gas and stuff.

12 But anyway, what happens, and this is one of the
13 theories on the cancers of Fallon, is something she taught me
14 which is called pyrophorics. You shoot a bullet and the fire
15 that comes off in the blast is in a colloidal state which
16 never settles to the ground. And that remains in the air,
17 and the colloids from these uranium bullets and other things
18 of that nature--which, of course, I am not too familiar with,
19 but you are--stays in the air and it gets in your orifices.
20 And as she explained to me it only takes one cell or whatever
21 they are--I'm not talking about my bugs till this afternoon--
22 it is one cell to get in your eyes, your nose, your mouth,
23 your ears, metastasizes--right word? Thank you. And you've
24 got cancer. And this is something the board will get and
25 I'll get it to Russ and I'll get it to Lake if everybody will

1 cooperate. This is a report from Marion, Ohio, and it's from
2 "Family Circle" 87-01, and this town has had 23 or so
3 leukemias, cancers, and Fallon have been 14. And they built
4 the high school on an Air Force chemical dump. And of
5 course, it rains in Marion, Ohio. Is there anybody here from
6 Ohio? Ohio, are you there? No? Okay, guys.

7 Anyway, this is the paper you're going to get. And
8 it's terrifying. And so when I looked at all the stuff you
9 shown, and I've watched for nine years, and we've all grown
10 old together, I keep saying something about the future. And
11 April did a brilliant program, and she mentioned the NRC
12 staff. Well, I just read an R & D article on the NRC staff,
13 and it's just like being married to Abe for the next 200, 225
14 years till they close that thing. And that is who is going
15 to be here on the NRC staff that is continuous. They said in
16 the article, "You're going to lose 40 percent of your staff."

17 Now, NRC I do not love because they are so snotty
18 towards us in Pahrump, but--what's the most important thing
19 is they are the inspectors. Who is going to be trained to
20 inspect and oversee--maybe that's the proper word--on this
21 stuff when there is no stewardship? What happens after the
22 225 years when Abe and I are gone? Where is the continuity
23 and who is going to do it? Can you do it by computer when we
24 talk about the robotics and we talk about the health of the
25 workers? I gave it to you from the book yesterday. And it

1 said seven, eight and 12 per thousand deaths.

2 Now, we get in on all this stuff and I'm--I don't
3 mean to be equivocal about it, but again, I have to say that
4 what's the most important thing to me is the health and
5 welfare of this nation. And I have to give you a history
6 lesson. And that is Nevada is the third largest state in the
7 nation. 87 percent, give or take, is owned by the federal
8 government. My friend has a map from 1930 on lambskin, and
9 there were 30,000 people in the whole state. Now you've got
10 almost 2,000,000 in Las Vegas. We're going to have 120 to
11 150 in Pahrump, and Magosa (phonetic) has a few, and so on.
12 But we don't count because the government does this.

13 And, I showed you the article about the capability
14 to make the germs. Anyway, it's really terrifying. And
15 again, we get back into the water. When I look at the tests
16 I do not see it any--the way you see it. For all these years
17 I've said how can you? And that's why I brought that book on
18 the 50th anniversary. You're going to see what went on in
19 the test site. But what you're not going to see is that
20 there are 20,000 airplane flights over the Air Force bases
21 from Fallon to Vegas, to Nellis, that flies over the test
22 site. You've got fuel dropping, you've got plane crashes,
23 you do not see the Tonopah Test Range with all the uranium
24 bullets and so on. That is next door and you are part of
25 that 25 miles in the Tonopah Test Range. You do not see what

1 comes out of Payute Mesa and Frenchman Flat and so on because
2 they are above Yucca Mountain. They are not that far away.
3 The 1370 square miles is just a small portion of what the
4 feds own. Nye County owns the roads.

5 And, I just did a report to the PUC and to Pahrump
6 and so on on the wind machines that they anticipate putting
7 in. And I can assure everybody here I was coerced into doing
8 it, and I was the least prepared, but as always I was the
9 only one available, so of course I went into 20 minutes of
10 testimony. Now, they are going to put 541 wind machines up
11 there. Huge things that generate a million--1-1/2 megawatts.
12 That's enormous. And they are going to get so big they can
13 generate three megawatts.

14 Now, having been on the NRP Committee all these
15 years and I see the water that we're measuring in Lake Meade
16 that's loaded with PU and U-237, 238 and 242, and that's not
17 nice. I don't know about the lead. But this is the stuff
18 that is going on, and I see this project as it's whole. I do
19 not see it as 25 miles of Yucca Mountain and you have
20 separated everything and everybody from the test site. All
21 the cores are out of the test site. All of this, all of
22 that. And it's hidden from the public.

23 And then Lake, my dear friend, he's not going to be
24 with Abe and me. You talked attorneys, who is the bottom of
25 the barrel. And I mean that with all my heart. I have

1 judges and attorneys in my family, that I know intimately.
2 And they set the laws. We, the people, don't. And it's
3 scary because you can look at law upside down, inside out,
4 and backwards and interpret it as you choose. And this is
5 not, in my opinion, for the benefit of the people. I regret
6 the cancers which will be occurring. Remember your law, and
7 that's what I want, the boundary map for Pahrump. You cannot
8 be closer than 800 meters with a vehicle or rail car. You
9 can abide yourself without the 800 meters. So that is my
10 shot--yes, Gerry.

11 COHON: Time.

12 DEVLIN: Oh, okay. I thought you were correcting me.
13 I'm so used to being evaluated.

14 Anyway, thank you, but understand my feeling about
15 this. It is extremely negative and it really scares me more,
16 and I'll just close with this in light of what goes--going on
17 in New York and the Pentagon. Because I mentioned
18 bioterrorism yesterday. We don't know, it is insanity, but
19 it's there. And we have no one and nothing in Pahrump to
20 handle it, or at the test site, or in the entire state of
21 Nevada.

22 And where is Mr. Morgan Moskowitz? Is he here?
23 Morey Moskowitz, is he here from the state? He can
24 corroborate this. Thank you.

25 COHON: Now we will hear from Bill Vasconi.

1 VASCONI: My name is Bill Vasconi. I've been a resident
2 of Nevada since '64. I notice quite a bit of the audience
3 left, but that's all right because you are the folks I want
4 to talk to. Maybe even ask a question or two.

5 You know, there is a good bit of Nevadans that
6 don't believe they are part of this nation's nuclear waste
7 concerns. But there's just a good many Nevadans that believe
8 they may be the solution for this nation's nuclear issues and
9 concerns for many generations to come.

10 Now, I'm a construction worker, and 17 years of
11 that was at the Nevada Test Site. I came to realize that we
12 have the technological and scientific expertise developed for
13 over 50 years. Then we start attending our meetings on the
14 EIS, you folks, NRC, EPA. We got those for and those against
15 in the State of Nevada. Some of us have convictions. I'm
16 one of them. I'm not college educated. But I depend on what
17 I hear here at your scientific and technological meetings,
18 because I need assurances that the way my heart and brain
19 feels is right. Now, I know the antis that don't want to
20 talk to me because of who I am. I've got several world
21 organizations that don't want to talk to me because of
22 association. I'm not paid to stand at this mike and address
23 you people. I do take my time and read the articles. I read
24 the articles that's written by other organizations, but I
25 also know what you don't say. You don't say the site is

1 illogical. You don't say the site won't work. You do have
2 credibility. National Academy of Sciences nominees, Nuclear
3 Waste Technical Review Board. This Nevadan is paying
4 attention to what you do. This Nevadan is not humiliated or
5 put down by crowds of demonstrators. This Nevadan realizes
6 this is a national issue, not all a state issue, who this
7 morning would like to see us dock our 70 atomic submarines
8 because they produce spent fluorides. Our atomic aircraft
9 carriers because they produce spent fluorides. (Inaudible)
10 Snaring wants to close the reactors at so many universities
11 and medical facilities because they produce spent fluorides.
12 I (inaudible), I worked in radiation. I was a radiological
13 technician monitor for a few years. My God, your levels are
14 low enough. I hope everybody just don't jump on the band
15 wagon. We could start cutting out mammograms, chest x-rays,
16 no more (inaudible). Think about it. I think about
17 occupational safety because I'm a construction worker. I
18 hear a lot of estimates, a lot of guesses, a lot of limits.
19 What's our occupational safety limits? Right now the way
20 things stand that guy can drive that truck. Who talks about
21 the guy driving the truck? He can drive that truck for three
22 months. He don't have to eat, sleep or go to the bathroom
23 before he reaches his occupational limits.
24 Yeah, we got county commissioners that don't
25 realize when radiation passes you as a light in the

1 flashlight it's not no longer there.

2 Paul Perkins, keep this in mind, and I don't
3 believe in surveys, because you can write the damn things any
4 way you want to. I don't believe in surveys, but you asked
5 through a survey of UNLV what do you believe in most, your
6 scientific community or your politician. Your scientists
7 have won out by 96 percent. Politicians get credit for two.
8 But they are hard to talk to. I stand with Nevadans that do
9 believe, do believe, this is a national issue. But I also
10 stand with Nevadans that are concerned. They are concerned
11 about world welfare. They are concerned about issues like
12 impact, mitigation. They are concerned about emergency
13 response from their communities. I'm concerned about the
14 economic development in Nevada and people in Nevada. We have
15 businessmen who want to put railroad ties in a concrete
16 rebar, a million of them for a north/south railroad system,
17 to be utilized for economic development after the nuclear
18 waste assault.

19 We got state senators who want to see transition of
20 federal lands. We're 86 percent federal, because they want
21 to build a sustained tax base for future generations to come.
22 I see communities, rural communities, that want economic
23 development. But keep in mind those rural communities, the
24 railroad, the road, is going right through their town. The
25 people of Nevada--Clark County is an example. Let's use

1 Clark County, 1.4 million people. They are not concerned
2 with Yucca Mountain. If they were, they would have been at
3 that fiasco they called a demonstration at the DOE facility.
4 They're not the Nevadans. I was ashamed. Nevada can do
5 better than that and so can a congressional delegation. They
6 attacked the process, not the substance, and that's where you
7 folks are at. You're the substance.

8 Yeah, there's a lot of Nevadans out there who want
9 our university system vested in. They want research centers.
10 But their wants are for ourselves and the concerns of the
11 nation.

12 Thank you very much, for in the past I've talked to
13 you folks and we said we don't want it closed. We want it
14 monitored for water, for temperature, for radiation. We want
15 the capabilities of extracting it if there is something
16 wrong. Some of you listened. Some technical review board
17 listened. I appreciate that.

18 Again, I'm not paid to speak. I'm not paid to
19 stand here. I'm standing here because I want you to know
20 there's Nevadans like me that exist. Put down your concerns
21 are crime, water, waste, jobs, schools, and the amount of
22 (inaudible). About number 14 is Yucca Mountain. Your
23 concerned the fact that in Las Vegas, Nevada, there's a
24 murder every other day, a rape every nine hours, a car stolen
25 every 40 minutes.

1 When I go out in the world I just want 960 miles
2 around the center of Nevada after Thursday's last meeting. I
3 talked to a couple county commissioners, I talked to a few
4 residents. I had to reaffirm my convictions that this is
5 doable. It's a viable solution to this nation's nuclear
6 waste concerns. But I need you folks beyond the EPA, NRC,
7 beyond DOE, because DOE is a fly in your eye. They don't
8 give a compliment from anybody trying to do their job right.
9 Here is what is wrong with DOE. I'm not afraid to
10 compliment. I don't want to find no faults with them.
11 Because if I find faults I'd probably be on the other side of
12 the mike saying we don't want it here. We don't want it
13 here, but we know you're coming. There's equity issues,
14 benefits that this state is entitled to. You keep doing what
15 you're going. You make sense out of it. Don't forget to
16 write it in layman's language. Some of your (inaudible)
17 mouths will be just as clear as that (inaudible). But do
18 give me assurances. Don't be like DOE, don't be reactive, be
19 proactive. (Inaudible) what's going on, and I'll carry the
20 message.

21 I want to thank you. If there's any questions you
22 want to ask, now is your chance to do it. I don't care what
23 it's about--transition of federal land, how many nuclear
24 devices was detonated on that Nevada Test Site. Or one, I'm
25 going to shut up. (Inaudible) again. Thank you very much.

1 I hope we meet again, and my heart and soul goes out to those
2 that--what's happened this morning. I hope we meet on a
3 better day. Thank you much.

4 COHON: Thank you, Mr. Vasconi.

5 We now stand adjourned until 1:00 o'clock. Thank
6 you.

7 (Whereupon, a recess was taken.)

8 WONG: --provide an update from the project on science,
9 and the supplemental science and performance analysis. Our
10 first speaker is Dr. Mark Peters from the BSC, Los Alamos
11 National Labs. Dr. Peters?

12 PETERS: Can you all hear me okay out there?

13 SPEAKER: Yeah.

14 PETERS: With the events of today I'd kind of like to
15 laugh to take my mind off the events, and I noticed that I
16 have till 2:30 in the morning to give this talk, from the
17 agenda. So bare with me. Rob, you're going to have to wait
18 for a while, if that's okay.

19 HOWARD: Mark Peters is pretty good.

20 PETERS: You're good at questions (inaudible), even
21 better.

22 What I'm going to do is today, thanks again for
23 having me back, give you all an update. I think what you've
24 gotten used to seeing over the past several meetings on where
25 we're at with the Scientific and Engineering Data Collection

1 Program, the testing program--if you hear me talk about
2 testing and also saying data collection, that's maybe
3 semantics, but it gets back to a comment that Dr. Sagüés made
4 at the last meeting about, "Hey, everything isn't a test. In
5 some cases we're collecting data for parameters, in other
6 cases we're using it for validation." So I'm going to try to
7 sprinkle in here more specifics on why we're doing particular
8 testing or data collection and also what it's telling us
9 about our models. If I don't catch all the ones that you all
10 are interested in, please ask me in the questions. I'm going
11 to try to sprinkle that in. But it's structured in a very
12 similar way when I've done previous presentations.

13 I'll start with the unsaturated zone, talk about
14 the drift scale tests, spend some time on chlorine-36
15 validation, which I know is of much interest to the Board. A
16 brief update on fluid inclusions work. You heard a lot about
17 fluid inclusions at the meeting in Arlington in May. This
18 will be very brief. Then move into the cross drifts, still
19 focusing on the unsaturated zone, the crossover alcove,
20 seepage tests in Niche 5, as well as borehole based seepage
21 tests. And then another item that I know is of much interest
22 to the Board, the bulkhead investigations in the ECRB. An
23 update on where we're at with Busted Butte. The field work
24 at that test is now complete and we're in--pretty much
25 finishing up analysis and modeling of the test results

1 through this year and into next.

2 I'll move into the unsatura--or the saturated zone,
3 excuse me. Talk about some of our cooperative work with the
4 Nye County drilling program. I will not steal Dale's
5 thunder. You're going to hear quite a bit about the NYE
6 County program I believe later this afternoon. Move into the
7 alluvial testing complex. All of this you've pretty much
8 heard about before. This will really be updates on previous
9 information.

10 Moving into the engineer barrier system, some of
11 the testing that we're doing at the Alice facility in North
12 Las Vegas, the ventilation tests, as well as a brief mention
13 of the construction phase of the natural convection test
14 that's going on over there. Talk some about thermal
15 conductivity measurements. I know there's interest in that.
16 These are--I'll focus on the field based measurements that
17 we've started in the ECRB, and then about three or four
18 slides on waste form. I'm--you'll notice waste package is
19 missing. I'm assuming that was covered in great detail
20 yesterday by Gerry Gordon so that we're not going to go over
21 that at all at this presentation.

22 A diagram that you've seen before. Again, I'm
23 going to start with the ESF here, is the exploratory study
24 facility with the cross drift. North is in this direction.
25 This is the primary potential repository block. I'm going to

1 talk first about results from the drift scale test here in
2 Alcove 5. Move into talking about chlorine-36 validation.
3 There we're looking at samples from both the drill hole wash
4 area, fault area, as well as the Sundance Fault area down
5 here by Alcove 6. Fluid inclusion work, of course, covers
6 samples from throughout the ESF as well as the cross drift.
7 I'll talk about the cross drift. I have a more detailed map
8 later before we get into the cross drift section.

9 First, the drift scale test. You've seen this
10 diagram before. Just to remind you how the test is laid out,
11 the observation drift, the connecting drift, the heated drift
12 with the wing heaters, 25 on each side, and remember we also
13 have the nine large waste canisters inside the drift with
14 electrical heaters.

15 The primary purpose of the drift scale test is to
16 evaluate the thermocouple processes. Here we're after
17 competence building in our models--validation, if you like
18 that word.

19 It's--in terms of boreholes, again, we have the
20 boreholes that come up, the observation hearth both above and
21 below the drift, heated drift, and then of course a lot of
22 temperature mechanical measurements within the heated drift
23 itself.

24 An update on where we're at. As we've been heating
25 since December of '97, I'll talk about the heating phase of

1 how we're going to handle the end of the heating phase later,
2 a couple slides down the road. This is showing the power.
3 Remember, we started at about power here on this Y-axis.
4 This is a function of time. At close to about 190 kilowatts.
5 This slide shows we've turned the power down four times,
6 we've since last week turned it down a fifth time to maintain
7 the 200, approximately 200 degree C at the brick wall. So
8 this is just to update you on where we're at. You can see it
9 was starting to climb here so we have since again turned it
10 back, power back one more five percent increment.

11 Some temperature plots. These are along horizontal
12 boreholes about half-way down the drift that run along the
13 plane of the wing heaters, or just above the plane of the
14 wing heaters, so that's why you see the humped profile
15 because remember the wing heaters are segmented, they have an
16 inner element and an outer element. Just to give you an idea
17 of the peak temperatures that we're seeing out in the rock
18 near the wing heaters are upwards of 250 degrees celsius.

19 In terms of the measurements, temperature--we've
20 compared temperature measurements to our predictions. We've
21 talked in previous meetings about predictions of--where the
22 water is going to hydrologic predictions, and also chemistry.
23 I'm going to focus a little bit today on the temperature and
24 the hydrology.

25 In terms of temperature, we've done a lot of

1 statistical analysis of our measurements. First is the
2 predictions--pretest predictions, and find in the mean error
3 that almost all of our sensors is within a few degrees C.
4 You do see some local effects, hydrologic effects in terms of
5 temperature signal in some of the temperature sensors, and
6 that local heater in 80 are primarily drains and fractures is
7 what we're interpreting to produce some of those systematics.

8 Hydrology, in general, we do, as you know,
9 geophysics using different techniques--logging, radar,
10 resistivity techniques, as well as air permeability to look
11 at changes in fracture saturation, and in general they
12 corroborate well with the redistribution of the moisture.
13 We've done some statistical analysis as well in a more
14 quantitative sense. But I don't really have any plots to
15 discuss that in any great detail, but in general, the
16 statistical analysis corroborates that we're doing a nice job
17 of predicting where the water is going.

18 This is just one example, again from borehole 160.
19 One of these horizontal boreholes, about half-way down the
20 heated drift just above the plane of the wing heaters on the
21 west is temperature versus time for measurements and on the
22 right is the simulations. I didn't want to put them on the
23 same plot because it muddies it up, but this is a function of
24 distance down the borehole. If I overlaid these you'd see
25 that they are well within--they are within a few degrees of

1 the predictions and what we actually see in terms of the
2 measurements.

3 What about the cooling phase? We started the
4 heating phase, again in December of '97. We had always
5 planned on a four-year heating phase. We've recently
6 evaluated primarily at the thermal test workshop that we had
7 here in June, we remember that a lot of the big drivers for
8 the four-year heating phase had to do with the chemistry. We
9 wanted to have enough time to bore enough water away from the
10 dryout zone, maintain it in the condensation zone, and get
11 enough time for kinetics to take place so that we could see
12 real changes in water chemistry and potential mineralogy
13 infractures. We discussed whether there was any value in
14 extending the heating phase to continue to meet those
15 objectives.

16 The determination of the scientists was we had met
17 the objectives that were necessary so right now the plan is
18 to begin cooling at the end of the four years. So as of
19 January of next calendar year we will start the cooling
20 phase. We haven't talked in detail. In all likelihood that
21 will probably be switching the power off and watching it cool
22 naturally.

23 In terms of predictions, the same borehole that I
24 showed before. The horizontal borehole again just above the
25 plane of the wing heaters. This is just a series of sensors.

1 Sensor 3 starts at the collar, moving towards the back of the
2 borehole, just to give you a feel for the cooling phase if we
3 just flip the switch. The end of three years, all the rock
4 temperatures in that borehole are below boiling. Right now
5 the schedule would have us cooling for four years. We will
6 evaluate the cooling phase as we go and determine when the
7 cooling phase will actually end. At that time there will
8 then be post-test characterization. As of right now the
9 drift bulkhead will remain closed during the cooling phase.

10 Chlorine-36 validation. Probably don't have to go
11 over the purpose. Remember we've done a lot of chlorine 36.
12 The chloride analysis in the ESF and the data sets that were
13 collected by the project showed evidence of apparent bomb
14 pulse at five to six locations in the ESF. Two of those were
15 two of the faults in the ESF, the Sundance near Alcove 6, and
16 the Drill Hole Wash Fault Zone is exposed just towards the
17 portal from the ECRB breakout.

18 Because of the importance of those analyses for the
19 conceptual model for UZ flow, we've gone in and attempted to
20 validate the occurrence of bomb-pulse Chlorine-36 at these
21 two structures. You are aware of the fact that Livermore and
22 Los Alamos have both been involved in previous meetings
23 you've seen some detailed presentations from them that show
24 some pretty significant differences on the validation samples
25 between the two laboratories. So we went through a long,

1 arduous look at a set of reference samples to try to
2 understand what was causing the discrepancies. We honed in
3 on how we process the samples, meaning how we crush them.
4 And also how we leach the samples in distilled water. The
5 approaches were distinct.

6 In Livermore's case they were what we call active
7 where they were fusing--they were shaking them and grinding
8 them as they were leaching; whereas, in the case of Los
9 Alamos they were putting them in the beaker and letting them
10 sit.

11 As we went through a detailed analysis of the
12 reference sample, we've arrived at what we think is the right
13 technique to look at the additional validation samples, and
14 that is to crush them in a common crusher, one party, and
15 then simply do passive leaching, meaning put it in a beaker
16 with the ionized water for one hour. This is what is now
17 being used for the additional analysis for validation
18 samples. That's ongoing. The USGS is leaching approximately
19 two kilograms of crushed core per one meter of additional
20 core. And we're getting about two liters of leachate per
21 sample. That's being split, provided to Livermore and Los
22 Alamos. Those analyses are ongoing. Livermore has scheduled
23 to do the chlorine 36 to chloride and I'd say scheduled to do
24 the Chlorine-36 to chloride measurement in the accelerator
25 there in September--later this month. Los Alamos is likely

1 not to happen till thereafter, but we do hope to have
2 preliminary results here real soon on those additional
3 validation samples, again using this common technique.

4 We intend, USGS intends to develop a letter report
5 on the results in early calendar year 02. There will be
6 additional--there will be additional analysis, some
7 additional trillium (phonetic) analysis as well, and that'll
8 be included in the final report.

9 But as we discussed the other day, the USGS will
10 provide a report that will interpret the Chlorine-36 results
11 specific because we understand that's really the hard spot in
12 this whole thing. So we understand the priority and we're
13 moving forward as swiftly as we can.

14 Fluid inclusions. The USGS fluid inclusion work,
15 the isotopic work and the geochronology, a lot of what you
16 heard about from Joe Whalen and others at the last board
17 meeting, is nearly complete. They continue to do some
18 microscale work in the Cal Site, particularly looking at
19 isotope variations on the grade scale, etcetera. The results
20 of the USGS studies have been reported at several meetings,
21 GSA high level waste and you all saw quite a bit at the
22 Arlington meeting in the Spring, in May. The USGS is very
23 close to having completely submitted all their data into the
24 Technical Data Management System.

25 You also heard from UNLV at the last meeting and

1 you remember that they were writing up their results in peer
2 review journal articles. That effort continues. I believe
3 they are real close, but I'm not willing to speak for UNLV.
4 But the intent will still be, once the DOE has received all
5 the documentation you will still see the DOE position on this
6 particular issue once they have all the documentation.
7 That's what Bill Boyle referred to in the previous meeting.

8 What about the thermal modeling? There was a lot
9 of discussion at that last meeting about how long can the
10 system remain hot to explain the fluid inclusion systematics.
11 The USGS continues to do some thermal modeling. A lot of
12 this is Bryan Marshall's work, who I believe is still sitting
13 in the audience. His simulations continue to show that the
14 modern thermal gradients weren't reached until about three to
15 six million years ago. So the point is, as we were elevated
16 thermal gradients that can explain the fluid inclusion
17 geochronology studies for quite a long time. And then again
18 this work continues to try to really nail this down.

19 Moving into the cross drift, I'll talk about an
20 update on where we're at with the crossover alcove, which is
21 the drift to drift test between Alcove 8 in the ECRB and
22 Niche 3 in the ESF below. Talk about a brief update on where
23 we're at with seepage studies in the lower lithophysal in
24 Niche 5, and then some discussion of systematic seepage
25 measurements in the lower lith.

1 Just to jump ahead a little bit, the thermal
2 conductivity measurements that we'll talk about briefly are
3 in the EDS section of the (inaudible), but the rays that I'll
4 be discussing are in the Lower Lith. One is located right
5 about here and one is located down here towards the bulkhead.
6 The bulkhead studies, remember we have three bulkheads in
7 the ECRB. We're not ventilating beyond this first bulkhead
8 here. When I say first bulkhead I mean the first one here at
9 17+63. Second bulkhead here just before the Solitario Canyon
10 Fault. Then the third bulkhead just behind the back of the
11 tunnel boring machine.

12 I've also shown on here the italics in blue is
13 tests that are in the current plan but are not yet
14 constructed. And I also have the contacts for the different
15 parts of the Topopah Spring, again, the middle model is
16 Middle Non-Lith here, the lower left--over this extended
17 tunnel, lowering on all the way up to the Solitario Canyon.

18 Alcove 8, Niche 3. Remember here we're starting in
19 the Upper Lithophysal. It transitions into the Middle Non-
20 lithophysal. There's about 18 meters between Alcove 8 and
21 ECRB in Niche 3 below. Here we're after flow and seepage
22 processes. This is truly a confidence building exercise. We
23 do series of predictions to validate the UZ flow and seepage
24 models.

25 Just a schematic, a lot of what I've already told

1 you. The infiltration plots are at the floor of Alcove 8.
2 Niche 3 underneath, again, this is about 18 meters. We have
3 down-looking and up-looking boreholes that are instrumented
4 and also used to look for progression of the wetting front
5 during the infiltration.

6 This is a map of the floor of the Alcove towards
7 the back of Alcove 8. Remember two meetings ago probably I
8 told you about some preliminary infiltration in the very
9 small plot here along the fault at the back of Alcove 8. We
10 weren't getting a lot of water uptake by the fault, so what
11 we did is we went in and we did a trench along the exposure
12 of the fault as exposed to the floor. I told you about that
13 the last meeting. We've now got updated information. We
14 have seen drips. I believe that was available when I was
15 here in May. And there's more information on how much
16 seepage we're getting in the niche in the distribution of the
17 infiltration.

18 Some bullets on where we're at. That fault is
19 broken up into four different sections so we have hydrodyscol
20 infiltration permeameters that are controlling the head in
21 each of those four sections along the fault. We began this
22 phase of the test in March, saw first seepage in Niche 3
23 underneath about a month later. Right now it's taking up a
24 steady, over 200 meters a day and we're seeing about seven
25 percent of what is applied as seepage in the niche

1 underneath.

2 Collection trays in the roof. Just like we've done
3 in a lot of other seepage tests that quantify the amount of
4 seepage. We're mapping the seepage area in Niche 3. We're
5 recording it by remote video and we're also keeping track on
6 a weekly basis of how that wetting front niche progresses and
7 how that ties with the geology.

8 We continue to collect the water. We're analyzing
9 it, chemical analysis. The observations suggest that we're
10 quasi-steady state. We were pretty quick, within two months
11 after the initial releases. Right now the tracers are just
12 lithium bromide. We're starting in on a program to add
13 additional tracers that down the road is planned to include
14 colloids to look at unsaturated transport of colloids and
15 also reactive tracers. That's to get at helping us build
16 confidence in our models for matrix diffusion in the
17 unsaturated zone.

18 Just some pictures--here's the trench, the fault
19 within the trench. These are the permeameters that control
20 the head in each of the sections of the fault. A plot of
21 infiltration in liters versus time and then seepage and
22 liters versus time. The orange is simply the cubital of
23 infiltration in Alcove 8/4 along the fault, and then the pink
24 showed the seepage. Again, about seven percent of the water
25 that we're infiltrating is being collected in the trays

1 underneath.

2 I should say that the--we're of course over-driving
3 the system very significantly here. We're putting in a lot
4 more water in order to be able to see seepage.

5 This is--I don't expect you to study this in
6 detail. This just gives you an idea. These are maps, the
7 full periphery maps of the tunnel. The best way to look at
8 them is the crown of the drift. Think about the drift and
9 then just flatten it. So this is right spring line and left
10 spring line would be just below. The point is we've taken
11 the USVR maps and we're mapping very carefully where we're
12 seeing seepage in both the ESF. The Niche would break out in
13 this direction. And both the ESF as well as associated with
14 the fault, the fault is right here, and the blue areas are
15 showing where we're seeing seepage within the Niche. We'll
16 continue to map the progression of this front. It's still
17 concentrated along the fault, but we're going to map how that
18 is associated with the fault over time.

19 In particular when we go to the next phase of the
20 test we're going to go to a larger infiltration plot that
21 isn't just associated with the fault. And there it will be
22 real interesting to see how the seepage interacts with the
23 rest of the Niche, and how that ties with the geology.

24 Some pictures to show the seepage. If you're
25 facing into Niche 3, the right rib, this is the right rib

1 here, you can see some wetting, wetting along so that you can
2 see--pick up almost a spider web look where you're wetting
3 along the fractures. And then here's wetness in the ceiling
4 just inside the bulkhead above the Niche, right where the
5 fault cuts through the Niche.

6 I should say that in general our predictions for
7 that test were good. We predicted the breakthrough about
8 right and we expect the fault to be controlling fully early
9 on here and that's expected. The predictions for the next
10 phase of the test aren't yet complete, but they'll be
11 complete prior to us starting infiltration.

12 Niche 5. I talked some about seepage in this
13 previous test, but here we're looking at calibrating and
14 validating the seepage model. This test is in the lower
15 lithophysal. Remember, a lot of ESF studies were in the
16 middle nonlithophysal. Here we're in the ECRB in the lower
17 lithophysal.

18 A reminder of what that test looks like. This is
19 the actual test area. We have an access drip here. It's
20 excavated. We drilled these boreholes prior to excavation
21 of the test niche, do some air permeability to look at
22 permeability prior to excavation and then also after. We
23 then excavate this niche and set up seepage in these
24 boreholes above and quantify it through using collection
25 trays--very similar technology as to what we're using in the

1 other test.

2 The first phase of that, of the seepage for this
3 test, I talked about this before, we didn't see any seepage
4 into the drift at all. Lithophysal porosity was like
5 replaying a role in that in terms of storage. We've since
6 went in and excavated and I had a diagram in the last
7 meeting, what we called bat wing. It's a slot on the rib,
8 the left rib, because when you think about this you can put a
9 lot of water in it here saying there's a capillary effect, a
10 lot of it is flowing around. Where is it going? So we have
11 a mass balance question that always is there. And so we
12 excavated this to try to improve our mass balance. We've
13 excavated that. Once we excavated we had to go back in and
14 do additional air permeability because of the possible
15 changes. We've done that work. We went in, did some
16 geophysics to look for the water from that previous liquid
17 release test, and we're setting up right now to do some
18 additional seepage threshold tests at varying liquid release
19 rates. Those should start within the month.

20 Systematic, the Niche 5 is at one location in lower
21 lith. We're also doing tests, borehole based tests, where
22 we're drilling boreholes in the crown of the drift and doing
23 borehole based liquid release, also doing systematic air
24 permeability and gas tracer tests. This is work that's being
25 done by Berkeley, Lawrence Berkeley, providing very similar

1 information that you get from the niche data except here
2 you're getting it variability, along the lower lith.

3 I've already said a lot of this. This work
4 continues ongoing and I have some bullets in the next couple
5 of slides to talk about, some of our observations.

6 There's a lot of small fractures in the lower lith.
7 We've talked about that before as well. When you go to a
8 cutoff length of say 30 centimeters--let me back up.

9 If you have a cut-off length of a meter and you map
10 the tunnel, it looks like the lower lith is less fractured
11 than the non-lithophysal. But if you go to a shorter cutoff
12 like 30 centimeters, the Bureau did that, you find that
13 actually the fracture density is comparable. The nature of
14 the fracturing is different, but it's comparable in terms of
15 density.

16 The air permeability measurements suggest that
17 these fractures are well connected. They tend to terminate
18 lithophysal cavities, has been my observation. But you get
19 (inaudible) level type permeabilities from the air
20 permeability level, measurements.

21 One of the boreholes where released water along
22 almost a two-meter section. It tends the flow down. No
23 surprise. Pour the drift. Not uniform. There's some
24 heterogeneity but it's along preferential pathways. Because
25 of this heterogeneity some of the water is just going to miss

1 the drift without ever getting to the capillary effect, is
2 the way I would look at it. Whereas, but a lot of the water
3 is diverted around the drift due to the capillary effect.

4 The lithophysal porosity in this particular bullet
5 it says it's small, but at Niche 5 we still have some things
6 to work through here because at Niche 5 we think the
7 lithophysal porosity might be playing a role in why we didn't
8 see seepage right away. This is an area we need--we continue
9 to work on.

10 It's real important to quantify evaporation in
11 these experiments. These tests are in the ventilated drift
12 so we're working real hard on making sure we can quantify the
13 evaporation rate. And finally, there is uncertainties and
14 there's evaporation that we have to account for, but the
15 conclusions of the Berkeley scientists is that the seepage
16 threshold does exist, does in fact exist.

17 Bulkheads. Remember the three bulkheads in the
18 ECRB? Here we're really making observations. This test was
19 constructed to--we're underneath the high infiltration area
20 under the crest, if you look at the surface infiltration
21 maps. If we're going to see drifts, we have--here is where
22 we're going to see it. So we set up the test, the mappers,
23 along those lines, isolated ventilation. We all know, I
24 think you all remember the history. We have a TBM that's
25 being powered in the back of that drift. It's hot relative

1 to the other parts of the drift, and we're seeing some
2 condensation that's likely masking our ability to observe
3 seepage.

4 I talked in early May about the January bulkhead
5 entry. Remember also we put that third bulkhead up behind
6 the TBM to try to isolate that heat source as much as
7 possible. Work totally successful, as you've heard previous
8 talks. Again, I talked about the January entry. And we're
9 seeing the same phenomena that you heard about before. A
10 lot of condensation primarily towards the back end.

11 Later in May after we talked last, we actually
12 entered, but this time we did it unventilated. Because in
13 the previous times for safety reasons we've always ventilated
14 the drift. This time we went in with full PPE, personnel
15 protective equipment, for those who don't understand that,
16 without ventilation to see what we could see because the
17 reason we had to do that is because we had lost power back
18 there. So the bad thing was is that we were about to lose
19 power to the data collection system so we went back to fix
20 that. And the nice thing is is that PBM has been off since
21 April. So that provides an interesting--in my opinion, that
22 provides an interesting comparison.

23 Some pictures. Won't probably do a whole lot for
24 you, but there is still evidence from the May entry of water.
25 Let's not--I don't want to call them drips. It could be

1 condensation on surfaces and then dripping. These drip
2 clothes were installed in January so there was still similar
3 kind of evidence of what we had seen in previous entries
4 despite the fact we were unventilated and the PBM had been
5 off only since early April at this point.

6 We have continued to analyze water from the
7 previous entries, and we still feel we're getting more and
8 more certain that the observed moisture is attributed to
9 condensation, and it's related to the temperature gradient.
10 I won't sit here and tell you that's the final, final answer,
11 but that continues to be our hypothesis. We've seen no
12 reason to doubt that.

13 Again, the TBM, the power of the TBM has been off
14 since early April. So measurable temperature gradient that
15 we saw has diminished. And, I have a plot, the next figure,
16 that'll show the temperature at three stations. Overall,
17 this is a qualitative observation. David Hudson, from the
18 USGS, is the PI for this test. He has been in all the
19 entries and he observed less moisture during the May entry
20 than he had seen in the January entry, and I would say in
21 previous entries as well.

22 Temperature versus time for three temperature sets,
23 there's a different locations within the drift. Here's--when
24 we ventilate everything goes to equal temperature in the
25 January entry. You can see the temperature behind the third

1 bulkhead back there by the TBM gets pretty significant--
2 pretty high. The temperature behind the first bulkhead and
3 behind the second bulkhead is roughly equal, some gradient,
4 but a pretty large gradient between the TBM and the other
5 parts of the bulkheaded area. Once we lost power, that, of
6 course, cooled off pretty dramatically.

7 This represents just opening the doors and not even
8 ventilating. All we did was open the doors. But you can see
9 the data here in the August time frame shows that the
10 gradients basically disappear.

11 We haven't been in since May. We're going in in
12 about three weeks. And our plan at that point is again to do
13 the same thing--go in the first day unventilated with just a
14 couple scientists. Not a large entourage, just a couple of
15 scientists are going to go in and have a look and take very
16 careful notes.

17 Path forward. I've said some of this a little bit
18 already, but I need to talk a little bit about this first
19 bullet. The next bulkhead entry will be in early October.
20 We also intend at that point to move the first bulkhead.
21 Right now it's about half-way down the cross drift. We have
22 a lot of other testing that's currently proposed to DOE that
23 they are evaluating right now, next year to address some
24 other issues related to thermal-mechanical properties. And
25 while we're looking at some other testing, it really requires

1 us to have access to more of the lower lith than we
2 currently have access to. That, logistics speaking, plus the
3 fact that the test we feel most of what we're learning in
4 this test is happening at the back end. So we're going to
5 shorten up the test bed, so to speak, move that first
6 bulkhead well down towards the second bulkhead and work with
7 about, along on the order of--it ends up being a little less
8 than 300 meters a drift, isolated from ventilation at that
9 point.

10 We're going to also improve our monitoring
11 conditions by remote video behind the bulkheads to try to
12 still get our-- here we're seeing seepage or condensation,
13 improve our measurements of some of the atmospheric
14 conditions.

15 There's some things going on in terms of injurious
16 processes that we're going to try to improve our measurements
17 within the drift to try to better model those phenomena.
18 We're going to improve our collection system for moisture,
19 not just have drip cloths, but try to quantify the moisture a
20 little bit and also continue--collect samples in a cleaner
21 fashion in some cases to get better chemistry.

22 And again, the analysis and modeling is ongoing and
23 not only do we look at the seepage, we've done predictions
24 for the seepage, but more importantly the analysis in
25 modeling is cranking up to look at what's going on inside the

1 drift.

2 Busted Butte, here we've moved out of the Topopah
3 Spring stratigraphically down--well, actually to the very
4 bottom of the Topopah Spring and the top of the Calico Hills
5 formation. Remember, Busted Butte is located southeast of
6 the ESF and the cross-drift where we were just talking about
7 all of the testing, data collection.

8 Here we're looking at--this is really, I don't want
9 to call it an analog, but this is a validation experiment.
10 We're building confidence in our transport, flow and
11 transport models for bedded Calico Hills, vitric Calico
12 Hills. As it's below the repository horizon, we're not
13 trying to say this is totally applicable, but it certainly is
14 a good test for validation of the models. So we do a series
15 of predictions and then validate our observations.

16 Some objectives. I won't dwell on these. You're
17 heard these before, looking at a variety of different
18 processes, fracture matrix interaction, colloid migration,
19 how we can--how the sorption data from the field scale match
20 up with extensive laboratory sorption database that we have
21 already on Yucca Mountain. And of course, get a scaling.

22 This will really be a snapshot of where we're at.
23 This is still a work in progress. What you're looking at
24 here is--go back real quick, John.

25 The test block that I'm going to discuss is the

1 Phase 2, the large test block. Remember, we have injection
2 holes to root out this face, two planes, one up here in the
3 Topopah Spring and one down here in the Calico Hills. We had
4 inject--collection holes coming off of this face when we were
5 collecting tracer periodically on pads. We've now turned
6 that tracer system off and we are doing post-test
7 characterization by coring in mine back. Collecting samples
8 for lab analysis. So what you're looking at here is the
9 face, that injection face. You had the two planes of
10 injection holes. And what we did is we went in and we did a
11 series of overcores of those injections holes, and here we
12 were driving at trying to get a handle on how far the
13 reactive tracers had gone. Because again the transport
14 distance should be relatively small here. You're going to
15 see some preliminary data from results from these two
16 overcores here which were for borehole 20, a high injection
17 rate borehole. This happened to be sitting up in the bottom
18 of the Topopah Spring which is a fracture welded vitrophyre.

19 Some results, what you're looking at here is again
20 the injection hole, the two overcores. What they did is they
21 sliced it into three. Then they did analyses as a function of
22 distance from the borehole for all three slices. So what
23 you're looking at here is simply results for the
24 fluoerbenzoic acid, which is the conservative tracer that we
25 use. It's tagged so that we know which borehole it came

1 from. And also results for nickel which is a sorbing metal
2 in this system.

3 Don't have a lot to say other than this is the kind
4 of data that we're collecting that's going to be used to
5 analyze the tests in great detail and, see, the concern is
6 basically equal as you would expect, whereas the nickel tends
7 to climb as you move away from the injection borehole.
8 Behavior in general that we would expect from a reactive
9 tracer in this system.

10 There's some things going on here with humps and
11 things. We're continuing to do some analyses of other splits
12 of these same slices to see if some of that is real. Or what
13 it's telling us, is a better way of putting it.

14 Here is a good example of that. We've talked about
15 colloids before in this test and we weren't having a lot of
16 success. There were some things going on, we think, in the
17 effects of the chemistry on the microsphere tracers that they
18 were probably--and coming out of solution before they ever
19 left the borehole. These are difficult things to find and
20 measure. We've done a series of lab measurements and now
21 we've also improved our techniques, and we are now hopeful
22 and we think that we can actually get some real, I'll call
23 semi-quantitative information on colloids from the actual
24 test block as opposed to just relying on lab experiments.

25 What this is is another one of those slices from

1 the injection bore hole going down. This is a--not a very
2 quantitative scale. It's a relative count of microspheres.
3 What they do is they image a sample and they simply count the
4 number of fluorescent microspheres that they see. It's not
5 calibrated totally, but it gives us a relative idea of how
6 far the colloids are transported. They know the size.
7 There's some that saw in those splits this interesting rise,
8 and talking to the scientists we don't yet have a clear
9 explanation for that. It could be a filtration phenomena at
10 this location. They are looking at the core in great detail
11 to try to figure that out. I guess the main point here is we
12 are getting some useful colloid information out of the test
13 block. Before I told you that wasn't looking real good.

14 I talked about the overcore. Now, what about the
15 mineback? We have since--this is again that Test Alcove.
16 These dotted lines here are the injection holes. Number two
17 plane, and the collections holes come off of this face here.
18 We have gone in and excavated a mineback. When we mineback
19 into the test bed, ran along, crossed several of the
20 injection holes, and our ultimate goal was to get back here
21 to this fault where it crosses an injector. We're taking a
22 series of samples. If you remember the previous phase, phase
23 one, minebacks where we had the pretty fluorescein pictures
24 where you could image where the dye had gone. Similar kind
25 of thing here. Taking a series of samples--I have a couple

1 pictures. No real results yet. This just finished last
2 month so the analysis is ongoing. So I'd say next meeting I
3 would hope to have some preliminary data to show you on the
4 lab analysis.

5 These are kind of hard to see so bear with me. But
6 this is simply a picture of that fault at the very back of
7 the mineback.

8 Go back a second, John.

9 The pictures that I'm going to show you, one is
10 going to be taken from here looking into this face, and the
11 other picture is going to be looking as if I'm standing here
12 and looking over at this face at these injection boreholes.

13 Okay. This is simply a picture of the fault. You
14 can see the offset, not significant offset. This here--this
15 total exposure here is about five meters. But these are
16 where--these are collection holes that were drilled in. We
17 crossed an injection borehole just as it crossed the fault.
18 This is prior to the sampling. If you look at it now it's
19 like swiss cheese. They've taken a whole series of hand
20 auger samples all around these holes, go along the fault to
21 quantify the tracer movement.

22 This is hard to see also. This is again looking
23 down at the lower injection array. If you squint, and maybe
24 you need to, believe me, there's a little bit of red just
25 below this borehole. That's rhodamine dye. That's a dye

1 that actually sorbs, so you can see that it hasn't trailed
2 too far from the borehole. The yellow here, some of which
3 was scraped away, is fluorescein stain. So--and it has been
4 scraped away because we were continuing to excavate and the
5 dirt was piling up in this area. But I hate to say, believe
6 me, but you can map the fluorescein distribution tells you a
7 lot qualitatively about the flow system local to the test,
8 and then compare that to the tracer, tracer results.

9 Remember that ACL in Canada is also doing some
10 large block experiments--large blocks may be the wrong way of
11 putting it--some block experiments from, taken from Busted
12 Butte in the Calico Hills. They are doing two blocks. One
13 is an unsaturated transport experiment. The other is the
14 saturated transport experiment. They are using real
15 radionuclides in this particular case. They are in the
16 laboratory. And this has been very useful information to
17 compare to what we're seeing in the real test with the analog
18 tracers.

19 Some preliminary observations: In the unsaturated
20 block we're seeing technetium in the under-oxidizing
21 conditions is traveling as fast or faster than transport
22 solution. You're seeing some anti-exclusion effects and
23 likelihood that they are causing it to go faster. But it's
24 acting conservatively. No surprise.

25 In the saturated block, the technetium is actually

1 being sorbed, slightly sorbed. That's likely due to what is
2 reducing conditions in the block. There's some discussion up
3 there that they may have some microbes growing in there that
4 are causing reducing conditions and they are still looking
5 into that. But if in fact there are reducing conditions you
6 would expect technetium to go to an oxidation state such that
7 it could be sorbed in these rocks, to a weak extent.

8 Neptunium weakly sorbing in our system. That's, we
9 assume, our models, and it is in fact being borne out by the
10 experiments. And the bottom line is we're agreeing well with
11 the experimental-determined coefficients from batch
12 measurements, which are of course crushed tuff inside of the
13 beaker. Here we're at least dealing with a scale. We're
14 scaling up to the meter scale and comparing that to the
15 analog tracers that we're using in Busted Butte.

16 Saturated zone. This is somewhat an out-of-date
17 map. There's more updated maps that Dale has put in the--in
18 back showing layout of the Nye County boreholes for the Early
19 Warning Drilling Program. Dale again will talk a lot more
20 about this. This is US-95, Lathrop Wells, Yucca Mountain, up
21 here to the north. I will not steal his thunder on that, but
22 we are working cooperative with Nye County to collect data
23 under our QA program. It's being used on support of our
24 saturated zone model, models. This is a list of the sorts of
25 things that we're doing in cooperation with the Nye County

1 samples, and also in the boreholes.

2 I'll touch on an update on where we're at with the
3 lithostratigraphy for the frame work model and also touch
4 on where are we? Some updates on the results of the alluvial
5 testing, at the Alluvium Testing Complex.

6 Lithostratigraphy. Rick Spangler, from the U. S.
7 Geological Survey, is the PI for this work. The focus up
8 till now has been to take the results from the Phase II
9 drilling, and he is developing cross-sections, then integrate
10 all the data collected up through Phase II. He is also
11 looking into geophysical data, the aeromag data and some of
12 the other data, and using--and that was used to update the
13 hydrogeologic framework for the saturated zone model.

14 A lot of these products are near completion and are
15 now in technical review within the USGS. We will continue to
16 work with Nye County in Phase III to collect additional
17 cuttings and further refine the hydrogeologic framework based
18 on Rick's work. And it's--these cross sections are starting
19 to become a very useful tool for helping, working with Nye
20 County as they decide where they want to drill in future
21 phases.

22 This is a hard-to-read diagram. It's lifted the
23 same, the same area as that diagram in the back of the room,
24 the previous one I showed. The point here is it shows the
25 cross sections that Rick is working on. The black lines are

1 faults that have been either mapped or inferred from gravity
2 in aeromag data. Rick's interpretation. And then also
3 shown are the borehole control. The yellow are YMP boreholes
4 and the blue are existing or planned Nye County boreholes.

5 The cross sections that Rick is currently working
6 on is 40-Mile Wash north, roughly north to south cross
7 section. And east-west here going from the east side of
8 40-Mile Wash over to the southern part of Yucca Mountain, and
9 then one right along US 95.

10 Moving into the Alluvial Testing Complex. Here
11 we're again after collecting data that provides parameters to
12 confirm our basis for the saturated zone pull and
13 transporting alluvium and also doing a series of predictions
14 for model validation.

15 This is just one potential flow pathway coming out
16 of the repository, coming from the saturated zone model.
17 You're going to hear a lot more about saturated zone flow, I
18 believe, a little later this afternoon from somebody who
19 knows a lot more about it than me. But this is one potential
20 flow pathway coming out of Yucca Mountain.

21 Here is 19-D, which is the cornerstone of the
22 Alluvial Testing Complex. I've told you before and I'll
23 bring you up to speed on where we're at. We've done three
24 sets of single hole tests where we inject tracer and then
25 pump it back. The drilling is being finished up in the field

1 to do the multi--to set up for the multi-well test as well.
2 And again I'll let--Dale will likely discuss that later
3 today.

4 Just a stratographic section of 19-D water table
5 sits about right here, a little over 300 feet. The alluvial
6 aquifer is in this area. You have the tertiary tuffs and
7 then the tertiary sediments all below the water table. Shows
8 where we set up screens to possibly do interval testing, both
9 hydraulic and tracer testing within different intervals. We
10 concentrated on the four intervals within the alluvium for
11 the testing for the single hole test.

12 Some of these are reiterations of what you heard at
13 the last meeting. We've again done a three-plan single-wall
14 test. We inject tracer and then we did three different
15 tests. One case we pumped back immediately and the other
16 case we shut it up for two days and pumped back and let it
17 drift. In another case we shut it up for 30 days and let it
18 drift and then pumped back. The results indicate
19 insignificant diffusion from the foreign ground water into
20 the stagnant water, and advection-dominated system. This is
21 consistent with a single porosity continuum transport model
22 that we're using for alluvium in the PA. I already
23 mentioned the remaining alluvial testing complex injection
24 monitoring wells. Our plan is for installation this calendar
25 year. Fill work is ongoing. And we will then start the

1 crosshole test that will give us information--confirm our
2 understanding of several parameters, including conductivity,
3 porosity, looking at KDs and also colloidal transport.

4 Very busy diagram, but what I want to show is some
5 preliminary results of analysis of the single-hole tests.
6 What you're looking at is--the best way to look at this is
7 probably the first three and then the second three. What
8 you've got plotted is for the three different tests, remember
9 I said zero days of shut-in here on the left, two days of
10 shut-in in the middle and 30 days of shut-in on the right.
11 You're looking at red, analytical solutions for the 1-D
12 invection diffusion dispersion equation and the blue is real
13 data. This is absolute concentrations versus time. The
14 bottom three are simply normalized concentrations, normalized
15 to the peak. They're again analytical fits.

16 From that--this is work done by M. J. Marhi
17 (phonetic) of the U. S. Geological Survey. By varying and
18 holding certain parameters constant you can back out, and
19 these are simply different runs using different assumptions
20 for how he handles the parameters and the equations where you
21 can back out dispersivity, effective porosity, as well as
22 specific discharge or flux. These are some of the
23 preliminary results from those fits. Dispersivity,
24 longitudinal dispersivity is the dispersivity along the flow
25 path. Effective porosity on the order of 10 percent into 15

1 percent and the flux is on the order of one and a half to
2 three meters per year. All these are consistent with what we
3 were assuming in our basis for the saturated zone flow.

4 Switching gears to the EBS real quick, I'll move a
5 little smarter here so we get through it. We've heard about
6 the ventilation test at Atlas. We have a large simulated
7 emplacement drift. We've got simulated waste packages inside
8 of the quarter scale test. We've got a crushed tuff invert,
9 and we're doing a series of measurements, again to support
10 validation of the preclosure ventilation model.

11 Some pictures from the field just showing the
12 installation of that test. Remember that phase one of that
13 test was where we were flowing ambient air through. We're
14 now in phase 2 where we're recirculating air, so we're
15 recirculating what I'll call conditioned air in phase 2 of
16 this test. And I'll talk about some results in the next
17 slide.

18 Again, quarter scale test. In general the phase 2
19 test results are in good agreement with our pre-ducted
20 surface temperatures. We have heaters in the test, and again
21 we can vary the heat load within the drift. We can also vary
22 the flow rate, and we can also vary the temperature of the
23 incoming air. So we were doing experiments controlling the
24 air, 25-C, 35-C and 45 celsius. And from that we can see how
25 well we're predicting surface temperatures, and also get an

1 idea for efficiency of removal of heat. You can see the
2 efficiencies that have been calculated for four of the phases
3 of these tests on the order of 70 to 80 percent. Incidentally,
4 similar to what--very similar numbers to what we assumed in
5 the SSPA and the PI calculations.

6 Natural Convection. This is a test that
7 construction is ongoing. Here we're doing two separate
8 tests. There has been a lot of discussions about scaling and
9 how well you handle scaling. In the ventilation test we've
10 had to do a lot of modeling and analysis to address the
11 scaling issue. Here we're going with two tests, the two
12 different scales to try to better nail down those issues.
13 Again, the construction is ongoing. We've got a 44 percent
14 scale test and a 25 percent scale test. Here we're looking
15 at natural convection within a heated drift. So it's
16 building confidence in the in-drift TH models. It's very--
17 this is an important test in relation to the analysis of the
18 ECRB bulkhead experiment as well.

19 What about thermal properties? There was
20 discussion yesterday about thermal conductivity. We are in
21 the process of starting up a program to further bolster our
22 database on thermal conductivity. It is focused on both a
23 field and a laboratory program. I'll focus on the field
24 program. I'll say about the lab program, we are starting a
25 series of analyses of thermal conductivity and other thermal

1 properties for the matrix. But as was pointed out yesterday,
2 when you talk about lithophysal unit in particular, what does
3 matrix thermal conductivity mean? So the fuel program is put
4 in place to try to help us address some of those issues.

5 The first test, this one is ongoing, is again in
6 the ECRB where in the lower left we have two holes, one with
7 a heater and one with a string of thermocouples. And we're
8 simply running this heater at low power and we're running
9 this below boiling. The maximum temperature right now is
10 50-C, and we're backing out thermal conductivity and other
11 thermal properties using Carl's Law and Yeager type
12 equations. So analytical solutions to Carl's Law and Yeager
13 type equations, we're backing up thermal conductivity.

14 The first phase has been run and I'll show you some
15 preliminary results. The second phase we're going to crank
16 up the heater up to about 3kW, create a dryout zone and see
17 what happens and see how that affects thermal conductivity in
18 terms of its function of saturation.

19 The second test, which is the holes have been
20 drilled, we've installed the instruments and we're wiring
21 them up now. Would be a larger test. Three meters and three
22 instrumentation boreholes. I believe one of the boreholes is
23 above the plane of the heaters and two are below to look at
24 any up-down effects. But here we're looking at perturbing
25 more rock, creating a larger dryout zone, again still in the

1 lower lift, different section within the lower lift.

2 What about back to the first test. What you're
3 looking at here is, if you remember back, it's an X, so zero
4 here is the crossover point where that X fits together, and
5 then we're moving in meters away from that crossover point as
6 a function of time. And here's temperature. You can see
7 phase 1. The highest point was at about 50-C. We take these
8 temperature profiles and we can then--let's go to the next
9 one--as a function of time back out thermal conductivity and
10 thermal diffusivity. I primarily want to focus on the
11 thermal conductivity numbers. You can see this is in watts
12 per meter K, on the order of 1.6 and 1.7 watts per meter K.
13 Yesterday Jim talked about thermal conductivity in the lower
14 left and we assume one point in the SSPA calculations, we
15 assumed 1.87 wet and 1.27 dry. It's within the range. This
16 is a positive result in my opinion, that we're seeing some
17 reasonable numbers compared to what we're assuming in the
18 SSPA. But again, this work is ongoing. We'll have
19 additional results and the second test will start up. And
20 we're going to look at a couple different locations within
21 the lower lift to get at the effects of lithophysal porosity,
22 which are, as you heard yesterday, will affect these results.

23 Skipping over waste package because you've heard
24 about, that and going into waste form. There continues to be
25 work on--in the waste form area, primarily developing or

1 building further confidence in the parameters that we use for
2 waste form degradation, both for spent fuel as well as glass.

3 First let's talk a little bit about commercial
4 fuel--mainly have some pictures. These are two separate
5 fuels, different burnups. This is data that's being
6 collected at Argonne National Laboratory in support of the
7 Project. Two different sample holders. There's chunks of
8 fuel inside there. These have been--these particular samples
9 have been subjected to dripping, not batch or flow-through
10 experiments, but dripping of water at elevated temperatures
11 below boiling. I believe like 60 to 70 degree celsius. You
12 can see there is underlying fuel here that's black, but we're
13 seeing the fuel fragments being covered and submitted by a
14 layer of uranyl silicates, consistent with the basis that we
15 used for the waste form degradation in the model. These test
16 continue. Again, these have been going on for eight years.
17 They will continue into next year.

18 Same two samples. Here looking at neptunium
19 relative to uranium release from the fuel in the drip
20 experiments. What you've got plotted here is time. Again
21 these have been eight-year experiments. First is the ration
22 of neptunium to uranium. What they are looking for here, is
23 there any systematics in how neptunium is released versus
24 uranium from the waste form. And the conclusion of the
25 scientists is that as time goes on, they tend to level off at

1 one. This is hypothesized to be consistent with the fact the
2 same alteration phase, in this case dehydrated schoepite.
3 Schoepite is a uranium oxide hydroxide mineral, which is one
4 of the primary alteration products of the fuel. And it
5 seems--that phase seems to be controlling the release of both
6 neptunium and uranium, and actually taking up quite a bit of
7 the neptunium and uranium and not allowing it to be dissolved
8 into solution. This is again consistent with our assumptions
9 about solubility, etcetera, that we've used in the models.

10 What about glass? There is a series of drip tests
11 going on with glass wastefrom as well. This is a, I think a
12 pretty picture of an actinide-doped--waste glass. It has
13 been exposed to dripping for 16 years. No surprises. This
14 is basically a rhyolite glass, a hycylcal glass. So when
15 you expose it to dripping at elevated temperatures it's going
16 to alter the clay. To build up a layer of clay that tends to
17 spall and you build up an additional layer of clay on that,
18 that kind of process where you get dissolution controlled
19 hydrolysis of the glass is consistent with our basis. This
20 clay layer tends not to--we do not take credit for this clay
21 layer in terms of sorbing, but it is consistent with our
22 conceptual model for how the glass breaks down over time.

23 So to conclude, I hope I've given you a feel for
24 where we are with a lot of the ongoing data collection,
25 analysis testing program in the underground at Atlas and in

1 the laboratories. These results continue to confirm our
2 technical basis. We're still focused on reducing
3 uncertainties in the key areas and also providing additional
4 confidence in our models.

5 So that was all I had.

6 WONG: Thank you, Mark. Questions from the Board?
7 Dr. Parizek?

8 PARIZEK: Yeah, Parizek, Board.

9 Mark, is there anything new on analog work, such as
10 Pena Blanca or elsewhere? You didn't have that on the list,
11 but just didn't know whether you had some--

12 PETERS: Yeah, they're still working through, specific
13 to Pena Blanca, we still intend to do some drilling down
14 there. But we're still working through some logistics issues
15 with drilling in Mexico, which is--provides some
16 difficulties, let's put it that way. So we're working
17 through that, but there's still full intent of going and
18 doing that drilling. Yellowstone--the work, you know, we
19 continue to work towards--Ardyth would be better to speak to
20 that, but we continue to work towards synthesizing a lot of
21 the natural analog work later this calendar year, I believe.
22 You know, Yellowstone, there's stuff, looking at INEEL and
23 some of the NTS stuff. All that continues.

24 PARIZEK: There's a--Figure 23 you showed the wetting
25 that was induced as a result of the addition of water above.

1 PETERS: Right.

2 PARIZEK: If you take rock fragments out of the wall, do
3 you see wetting inside the rock fragments as well, or just
4 movement of moisture down along joints or cracks, or is there
5 some evidence of water effusing inside the solid piece of
6 rock?

7 PETERS: I haven't looked myself, Dick, but I would
8 guess--the way it has been described to me and the way that
9 looks, it probably hasn't imbibed a whole lot into the
10 matrix, so to speak. It's probably concentrated along joints
11 and fractures. But I can--Dave probably didn't show up given
12 the events of the day. I think a lot of people went home,
13 but I can find out.

14 PARIZEK: It would be interesting to see what is
15 happening there.

16 PETERS: You bet.

17 PARIZEK: As far as how the shutting down the boring,
18 the invectious drip rather, with the bulkheads, you indicated
19 that the drips or at least the moisture was a little less
20 noticeable this last--

21 PETERS: Right.

22 PARIZEK: --than previous. Is that maybe season of the
23 year type to say hematic responses during the dry hot summer
24 days versus winter period, or do you thinks that's really
25 cooling of the PBM, finally, as a result of loss of power, or

1 can't say why you seen less moisture the second visit?

2 PETERS: Well, it was interesting that--I guess I--we
3 still, we still think that it's the condensation. I can't
4 totally rule out other effects like you alluded to in terms
5 of dry season, etcetera, hot. I'd say a lot--entering next
6 couple weeks will tell us a lot more.

7 PARIZEK: Yeah. Any other visits like that will begin
8 to shed light on whether it's--

9 PETERS: Right.

10 PARIZEK: --or whether it's seasonal or both.

11 Then as far as the moisture, I just asked the
12 question about the third water type, the J-13 is the
13 corewater chemistry?

14 PETERS: Right.

15 PARIZEK: Two distinct chemistries. But then the
16 condensation of water, if you have any chemical tests on any
17 of that, or preliminary results, that relates to really quite
18 a bit of moisture that might be involved in working on waste
19 packages. And that chemistry is a better water, I guess,
20 it's more dilute water than anything--you have about, two
21 were used in the corrosion experiments. On the other hand,
22 is that the kind of water the people from Nevada that April
23 talked about yesterday as an example that showed all of the
24 evidence of pitting and so on.

25 PETERS: Yeah, I--this is my--that water would basically

1 be condensate, dilute. It would interact with possibly the
2 dust and you'd get into concentrated brines that Greg and
3 others are already accounting for. So I can't imagine that
4 process producing water composition that we haven't already
5 thought about. That's personal opinion. That would be my
6 take.

7 PARIZEK: Thank you.

8 WONG: Dr. Craig?

9 CRAIG: Paul Craig. Couple or three questions. What is
10 the project's current position on the reality of the bomb
11 pulse clarity?

12 PETERS: We have--we continue to have a conceptual model
13 in the UZ that are consistent with the presence of bomb
14 pulse. Okay?

15 CRAIG: Yeah.

16 PETERS: So both the conceptual model and the model
17 fully account for the occurrence of bomb pulse core in 36,
18 along structural pathways. There's no plans for us to not
19 account for that in the model until we resolve this issue. I
20 guess I would also say, and this is now me talking. If
21 Livermore was right and the numbers are more like 210 to the
22 minus 15, that tells us that we're--I don't want to sound
23 like I don't want to find out the answer, but we're still
24 conserv--we're conservative because if Livermore is right the
25 pore water is 400,000 years old. So it goes in the right

1 direction. That doesn't mean that we don't need to follow
2 this through to the end to understand why we're seeing those
3 differences.

4 CRAIG: Okay, the second question is actually Don
5 Runnels', but he didn't have his hand up so I'll ask it for
6 him. It's what he asked a while back. What are the criteria
7 you're going to use to decide whether the (inaudible) is bomb
8 pulse or not pulse or not--

9 SPEAKER: Paul, you're--

10 CRAIG: Oh, I'm sorry. Don Runnels' question which he
11 asked last time. What are the criteria you will use to
12 decide once you get the two laboratories working together
13 with a common methodology, whether or not the quarry is or is
14 not bomb pulse quarry. Since the results seem to be
15 enormously sampled perforation-dependent you need some kind
16 of criteria to decide what the origin is?

17 PETERS: Well, I'm not sure I'm going to answer your
18 question, Paul, but when you say criteria, the criteria for
19 bomb pulse I don't think are what's at question here. We
20 had--June's work, June Fabryka-Martin's work, had gone
21 through and established, looking at, you know, the change in
22 production rate over time, etcetera, and what you'd expect in
23 terms of background. 1200 to 1500 to the minus 15 is the
24 threshold where you think you either have apparent bomb pulse
25 or you do not. I don't sense, in talking to the scientists

1 involved in this study, that they question that. But I don't
2 think I'm answering your question.

3 CRAIG: But the way in which you prepare your samples--

4 PETERS: Yes.

5 CRAIG: --affects the amount of material which goes into
6 the measurement. And consequently the volume of material
7 which is dissolved from which you do your leaching affects
8 the results intimately.

9 PETERS: That's correct.

10 CRAIG: You have to come up with a criterion that takes
11 into account the preparation method, and that's the criterion
12 I'm looking for.

13 PETERS: Okay. I'm probably not going to be able to
14 answer your question to your satisfaction, but they looked
15 very carefully at the time. When I talked to you in May they
16 were talking about seven hours. They've continued to
17 evaluate the data on the reference sample and they are down
18 to an hour. So--in terms of leaching time. So they are
19 trying to--I think maximize is the wrong word, but I'll use
20 it anyway--trying to maximize the possibility of finding that
21 component in the salts.

22 CRAIG: The last question is in a completely different
23 area, and that has to do with--it may not even be when you--
24 it's your area. Has to do with the mock-up experiments on
25 canisters. You mocked up some C-22 canisters, done some

1 welding on it, I understand. And I don't think the Board has
2 heard anything about that. What is the status of that--

3 PETERS: There's been--Tom Doering still here? There
4 has been--we haven't-- you mean mock-ups like small weld
5 samples.

6 CRAIG: No full.

7 PETERS: Full scale. I don't believe there's been a
8 full scale done yet.

9 CRAIG: Well, there's a response--

10 PETERS: Yeah, there's a--go ahead, Gerry. Yeah, you're
11 taking me out of my area of--

12 CRAIG: I was afraid of that.

13 PETERS: Yeah.

14 CRAIG: Well, we can do it later on.

15 PETERS: That's okay. Go ahead, Gerry.

16 GORDON: I'm not sure exactly what your question is, but
17 there have been some full diameter, quarter length mock-ups
18 made which have been characterized in terms of ultrasonics
19 and diameter and other nondestructive evaluations. To my
20 knowledge there have been no defects.

21 CRAIG: Okay, it would be interesting to hear about that
22 work at some point because that's--the question is to whether
23 you can actually make canisters the way you claim to be able
24 to make them is important.

25 GORDON: Right.

1 PETERS: One thing on that, Paul. We are also doing--
2 this is--and this isn't what I'll call a constructability
3 question. But we--in the corrosion test facility that you
4 call, I think, the dunk tanks, we are looking at welded
5 samples versus face metal samples to look at the performance
6 of welds in that space.

7 WONG: Dr. Nelson?

8 NELSON: Nelson, Board. Hi, Mark. This is just a lot
9 of information.

10 PETERS: If you want to give it next time.

11 NELSON: Let me ask you one thing right at the top. Is
12 there any evidence of rock deterioration in the ECRB?

13 PETERS: Yeah, there's--there's, I'd say, things caught
14 in the mesh. That's, you know, kind of just a small--

15 NELSON: Do you plan on doing anything with that, trying
16 to understand the character of that deterioration product?

17 PETERS: In terms of observationally going down and
18 quanti--or mapping kind of what we're seeing in terms of
19 deterioration? I've talked to the guys who do the ground
20 support walk-downs and asked them to start taking note of
21 what they see in different places, but in terms of formally,
22 we don't have a program right now to go in and systematically
23 evaluate that.

24 NELSON: Okay. Let me switch a little bit to the
25 thermal conductivity questions. In the tests that you're

1 doing and I really happened to hear about doing some
2 (inaudible) tests. That's good, a good start. But your
3 approach, the approach with hydraulic conductivity in bulk
4 properties is to figure out somehow how to control the water,
5 knowledge of water content and porosity--

6 PETERS: Right.

7 NELSON: --in terms of understanding the result of any
8 measurement. When you work through a mass of rock that's
9 being tested, which is hidden from you, necessarily, because
10 you're working in cross boreholes--

11 PETERS: Right.

12 NELSON: --how--what's your strategy to know something
13 about the water content and the porosity with the cases that
14 in particular that you're not taking it up to dryout? You
15 know--

16 PETERS: Right.

17 NELSON: --where you've got a water content that's
18 responding and an unknown porosity in terms of lithophyses.

19 PETERS: The collecting core, and the intent is, we
20 characterize that core for things like moisture content that
21 will give you at least some idea of it along the borehole.
22 Lithophysal porosity is a real bugger. If you're working off
23 a flat face and you're going back four meters into the rock,
24 that--we're doing two things. We're mapping the face in more
25 detail than we did during the first pass through the tunnel.

1 We also have a proposed viewing next year that we look at
2 the borehole video as well and try to put together as best we
3 can a picture of the lithophysal fracture distribution within
4 the general area. And we're exploring if there's something
5 geophysically that we can do that can tell us something--
6 probe the rock and tell us something about lithophysal
7 porosity. That's a challenge.

8 NELSON: Yeah, and I think the importance that was shown
9 in the figures that we saw yesterday about knowledge of
10 thermal conductivity and water content in terms of its impact
11 on peak temperatures and what's happening--

12 PETERS: Right.

13 NELSON: --we met a relationship between conductivity
14 and water content or porosity in the waves that you're trying
15 to cope with this and develop a way to calculate a--

16 PETERS: Right.

17 NELSON: --bulk conductivity--

18 PETERS: Right.

19 NELSON: --really requires an awful lot of calibration
20 before it's going to be believed. And, it's going to be
21 really hard to calibrate it, isn't it? I mean that you have
22 some methods that you pulled out, some--

23 PETERS: Yeah, I agree with you that it's a difficult
24 problem, but I guess I--I look at the preliminary data
25 anyway, and the fact that the calculations you're referring

1 to, Jim talked about yesterday. John Case does calculations
2 where he calculates thermal conductivity from the matrix
3 values and uses a lithophysal porosity term and calculates.
4 I'm--I'm encouraged by the results so far. I mean what if it
5 came back a 2.2? Then I'd be up here and you'd be really
6 running me up a flagpole.

7 NELSON: These are expensive things to validate.

8 PETERS: I understand.

9 NELSON: You know, each one of these tests being a one
10 point measurement effectively.

11 PETERS: I understand.

12 NELSON: Let me just ask you one connecting question to
13 this, which is, to understand what's important about
14 hydraulic conductivity--I mean not hydraulic, thermal
15 conductivity, both from a heterogeneity as well as the range
16 in properties requires a context like an analytical code,
17 something that's predicting what is going to happen with the
18 temperatures and the fluid flow. What--how plugged in are
19 you to developing those analyses so that you might now, for
20 example, say, well, if we don't get this much of a variation
21 in hydraulic--in thermal conductivity, we're just not going
22 to be able to drive any unanticipated response of the
23 repository. Do you know what I mean?

24 PETERS: Yeah. Well,--

25 NELSON: It may be that the range of hydraulic--of

1 thermal conductivity that you have reason to expect--

2 PETERS: Right.

3 NELSON: --and you continue your site investigation
4 isn't enough or is enough to actually cause some maybe
5 concerns or other kinds of behavior for the overall
6 repository when you put it into the analytical method.

7 PETERS: Okay.

8 NELSON: So I mean it's playing somewhat with the
9 analytical code to see exactly how far away from what you
10 might--what you've expected in the past do these values have
11 to be before they start generating a behavior that's not
12 currently--

13 PETERS: Maybe a couple comments. I'm not sure if I'm
14 going to hit what you're after. As I said, what you saw here
15 was they're backing out the parameter using stuff out of
16 Carl's Law and Yeager, a technical--an analytical type--they
17 will look at these as well with more sophisticated, like NUFT
18 type codes. We're also, as an aside, looking at possibly
19 trying to look at things like the drift scale test and NUFT
20 codes are two type codes to back out thermal properties as
21 well. So I guess what I'm saying is--

22 NELSON: Let me just hit it one more time and see if I
23 can get it. We saw some plots that showed temperature.

24 PETERS: Yes.

25 NELSON: And presumably moisture distribution that would

1 also go along with that overall repository footprint.

2 PETERS: Right.

3 NELSON: My question is how far different do the real
4 parameters or the ones that you're making measurements of now
5 have to be from what was assumed before you start getting
6 significant differences in the prediction of the performance.

7 PETERS: Oh, that's--I'm probably the wrong guy to
8 answer that, that question. But I think Jim kind of touched
9 on it showing the sensitivities yesterday, didn't he?

10 NELSON: Yeah, but I was just asking you to see how
11 you're connecting between the analytical code and the
12 experimental--

13 PETERS: Okay. Well, I'm--I'm--Jim Blink, who was up
14 here yesterday talking to you about a lot of those issues is
15 intimately involved in helping me plan the tests, is probably
16 one way I'd answer it. Jim just stood up so maybe Jim can
17 help me, but I'm certainly connected in with the people who
18 are analyzing the data. I can't--I'm not the right guy to
19 speak to sensitivities.

20 NELSON: There he is.

21 BLINK: Jim Blink from Livermore. We are working
22 together both for the model of conductivity based on core
23 results plus mapped lithophysal porosity results so that we
24 can properly interpret the laboratory and field measurements.
25 And then parallel to that we're looking at the sensitivity

1 of overall temperatures and variation in temperature to, not
2 only the level of conductivity in each stratographic unit,
3 but also the variability, the spacial variability and the
4 scale length of that. We've done the first part of that in
5 the SSPA. The second part remains to be done. It's in our
6 plans for next year.

7 NELSON: And you're using the Hadley correlations that
8 would do that, that you're using now to make a bulk property?

9 BLINK: We have--in John Case's calc report we have, I
10 think, five different approaches, including the Hadley
11 method. They range from a series to parallel as the end
12 numbers, and we are trying various combinations of those.
13 Probably the best one is the Zimmerman method which assumes
14 the steroidal cavities.

15 WONG: Dr. Knopman.

16 KNOPMAN: Mark, I have a question about the drift scale
17 test, but while we're on the subject that Priscilla was
18 asking, I just want to clarify, Carl's Law and Yeager's
19 textbook on thermodynamics, I'm trying to remember--

20 PETERS: No, I'm probably thinking of the wrong one.
21 I'm sorry. I'm--it has been--

22 KNOPMAN: All right, because whenever it was, I'm sure
23 it didn't deal with this material

24 PETERS: No, it's deduction of heat and solids.

25 KNOPMAN: It's a heat transfer text.

1 PETERS: Heat transfer, yeah.

2 DR. KNOPMAN: Okay.

3 MR. PETERS: Excuse me.

4 DR. KNOPMAN: But still there were assumptions about--

5 MR. PETERS: Yes.

6 DR. KNOPMAN: --in the material. That's an old, old

7 book. Now, I mean the laws--

8 MR. PETERS: My point being that I guess I--or I was

9 trying to get across there, although I probably stepped on

10 myself, was we aren't just using sophisticated, complicated

11 codes to do this.

12 DR. KNOPMAN: Okay.

13 MR. PETERS: We are doing analytical solutions with

14 simple 1-D approaches, and I've heard that from some of the

15 board members before.

16 DR. KNOPMAN: Okay. Yeah, I was just getting the

17 impression you're using numbers coming out of what might be--

18 MR. PETERS: No, I'm sorry.

19 DR. KNOPMAN: --a formula that's--

20 MR. PETERS: That's my fault.

21 DR. KNOPMAN: --designed for homogeneous materials.

22 MR. PETERS: That's my fault.

23 DR. KNOPMAN: I don't know how sophisticated they got on

24 that. Could we look at Slide 9 on the drift scale test?

25 MR. PETERS: Uh-huh.

1 DR. KNOPMAN: I'm just trying to get a sense of when you
2 say "good agreement" what you mean. If you look at the two
3 graphs there below, I just tried to match up the different
4 color curves. And you take that purple line that sects from
5 the bottom, for example, reasonably good agreement after a
6 year, it's about 85 degrees on both the measured and
7 simulated. By the time you get a little past three years
8 it's a 10 degree difference. If you move up to the next blue
9 line on the measured plot there, it's about 150 degrees,
10 maybe a little lower than that, and about the same after one
11 year for measured and simulated. When you get out to three
12 years, it's a 10 degree difference.

13 In the case of the green line that's close to the
14 top of that first chart, you actually get a 10-degree
15 difference after one year and it actually then comes a little
16 closer by the end. So, you know, for most of the sensors
17 there is a growing disparity between measured and simulated
18 after three years, which if you multiply the same trend, for
19 example, by 1,000 years, you're really far off what you're
20 saying.

21 So tell me again sort of what your criteria might
22 be for goodness of fit here?

23 MR. PETERS: I didn't show the statistical analysis, and
24 I'm probably not going to be able to reproduce it, but
25 they've gone through a very rigorous statistical analysis of

1 some predictions by grid block versus what we see in the
2 sensors. And the mean error is a couple degrees Celsius.
3 I'm probably not going to give you a real satisfactory answer
4 because I don't have all the information off the top of my
5 head, but let's see, the temperature measure is probably good
6 to plus or minus a degree.

7 DR. KNOPMAN: A degree?

8 MR. PETERS: Yeah. So it's outside--

9 DR. KNOPMAN: Is that based on these couple of years?

10 MR. PETERS: Yeah. Certainly the differences are
11 outside the error of the temperature measure, assuming that
12 the thermocouple is still good. There's no reason to believe
13 it's not. What criteria, I'd have to rely on the statistics
14 guys for looking at it in more detail to tell you what the
15 criteria are in detail. If I'm within 5 to 7 degrees to what
16 is a very complex test and a very large set of measurements
17 and the courses of the grid blocks, etc.--I'm using course
18 grid blocks to predict this--I'm within 5 to 7 degrees, I
19 call that excellent.

20 DR. KNOPMAN: But you're using this to predict out
21 thousands of years.

22 MR. PETERS: Right.

23 DR. KNOPMAN: So you might have a different way you'd
24 want to look at what is acceptable--

25 MR. PETERS: That's fair.

1 DR. KNOPMAN: --tolerance of error here.

2 MR. PETERS: That's fair.

3 DR. KNOPMAN: That's the point.

4 MR. BOYLE: William Boyle, Department of Energy. If we
5 look at those temperatures, let's not forget that's what we
6 would have seen in hundreds of years for a hot repository.
7 We ran this test greatly accelerated, so it's not a
8 legitimate--we can't extrapolate this out for hundreds of
9 years of repository to perform this because then we'd get up
10 into thousands of degrees, which we're not going to. So this
11 is as hot as we would ever get in the hottest repository. So
12 that may be the maximum amount of error we would see in the
13 order of the number of degrees that Mark mentioned.

14 MR. PETERS: But your point is well taken. I think it
15 hadn't ever been put quite that way, and it's clearly
16 something we should go back and think about.

17 DR. WONG: Dr. Sagüés.

18 DR. SAGÜÉS: Thank you. We'll keep on applying heat
19 here. If we'd go to, please, No. 32 I believe is the one we
20 want to see, 32, please. How about, then, 33, I guess, 33,
21 please. There it is. Thank you.

22 Of course you have spoken about this before, but
23 that picture brings home how reductively small of a
24 temperature difference from one point to the other along a
25 drift. It can make a relatively big difference in observe

1 accumulation of moisture and distribution of water and so on.
2 And we had this before, but in a natural repository
3 situation where you will have packages with different amounts
4 of heat generation from one to the other, what will be the
5 graininess of that temperature along the drift? And second,
6 will that differential of bumpiness in the heat generation,
7 natural heat temperature differences, would that generate
8 significant movement of water from one package to the next or
9 family of packages to the next group? How does that work
10 out?

11 MR. PETERS: I'm not going to be able to answer your
12 first question because I won't know the exact, say,
13 temperatures at maximum temperature and how they vary
14 between, say, defense packages, which tend to be cooler than
15 the commercial packages.

16 DR. SAGÜÉS: No, I mean the same kind, for example.

17 MR. PETERS: Yeah. There will be--once you stop
18 ventilating--of course during ventilation everything is
19 pretty much the same, but once you stop ventilating, there
20 will likely be gradients. The answer is we're certainly
21 aware of that and you'll hear Tom Buscheck of Livermore call
22 it "the cold trap effect".

23 DR. SAGÜÉS: Right.

24 MR. PETERS: In fact, there is an extensive program to
25 look at that in much more detail using both testing data from

1 this test and the convection test and, you know, improving
2 our model in that area.

3 DR. SAGÜÉS: Are any effects of this being considered in
4 the present performance analysis?

5 MR. PETERS: I don't know the answer to that myself.
6 Can anybody out there who's a PA person address that?

7 MR. BLINK: Jim Blink from Livermore. The graininess is
8 of the order of 5 to 10 degrees C from the warmest to the
9 coolest packages at the time of the highest temperatures, and
10 I showed that on one of my temperature graphs yesterday for
11 you. In the SFDA we also a very detailed table that goes to
12 various points within the cross-section of the drift, within
13 several cross-sections of the drift, looking at the relative
14 temperatures at different points on the drip shield, the
15 drift wall, the invert, and of course what we see is the
16 waste package is the warmest point in any cross-section and
17 the cooler points are usually at the drift wall. So we think
18 that most condensation would occur near the drift wall or in
19 the near field rock.

20 In the Ventilation Test No. 1--or actually in the
21 earlier tests, the canister tests, we also tried to mock this
22 up at a quarter scale and we did not see condensation on the
23 inside of the drip shield but rather we saw condensation down
24 near the bottom of the drip shield at the invert. So we're
25 very interested in the subject. In the SSPA, Chapter 8, we

1 also did an alternative model to take a look at that and the
2 model did not show any condensation on the bottom of the drip
3 shield. We were prepared to carry that forward if we did see
4 it, but the model didn't prove to show the condensation.
5 We're doing more work in that area because all of the models
6 of condensation so far are fairly coarse models.

7 DR. SAGÜÉS: I see. So far the most that you have done
8 don't show any important humidity effect and whether the
9 humidity matters due to a short-term or short distance
10 temperature differences in packages; am I saying that right?

11 MR. BLINK: Yeah, we haven't seen any firm results that
12 look like it's a problem, but we're not ready to write the
13 issue off. In fact, we're doing more sensitive calculations
14 using fluent--

15 DR. SAGÜÉS: Okay.

16 MR. BLINK: --code to try to get at it.

17 DR. SAGÜÉS: But it appears this needs to be a strong
18 humidity effect due to the fact that there's a relatively
19 small temperature difference. So one would say how come you
20 don't see it in your models?

21 MR. BLINK: In this situation you have an axial
22 temperature gradient, but in the region of condensation you
23 don't have any radial temperature gradient. You don't have
24 any heat source in the region of the drift that's getting wet
25 in the ACRB. So it's a different situation. What it would

1 imply is in a repository situation you're going to see
2 condensation in the perimeter grips rather than in the
3 emplacement grips.

4 DR. SAGÜÉS: How about when the temperature begins to
5 come down, and wouldn't then some packages begin to develop--
6 you know, you get the whole deliquescence issues and so on--
7 wouldn't then some packages be getting wetter on their
8 surface a lot sooner than other packages and maybe even
9 getting wetter at the expense of the others because of the
10 others being warmer?

11 MR. BLINK: Our PA models assume that there's a dust on
12 all of the engineered surfaces, drip shield and waste
13 package, and it's controlled by a particular salt. And when
14 the humidity, the local humidity, comes back up to the level
15 that you would have deliquescence, we turn on the corrosion
16 switch. So we have a conservative approach to that already.

17 DR. SAGÜÉS: I see, I see. I have another question that
18 maybe I should have asked from Gerry Gordon yesterday. But
19 in the science studies, when it comes to analogues for
20 materials, the issue as to whether there is any kind of a
21 long-term example of passive behavior, specifically I think
22 you are going to be looking at things like Josephinite. Has
23 anything new been done on that?

24 MR. PETERS: I know the work's ongoing. Tammy Summers
25 can speak to it.

1 DR. SAGÜÉS: Okay.

2 MS. SUMMERS: Summers, Livermore. We have looked a
3 little bit at the Josephinite since the last meeting.
4 Specifically we looked at the sample Gerry showed, which had
5 a metallic appearance. We looked in XBS. We sputtered down
6 to 120 nanometers, and we did see metallic iron and nickel
7 mixed with oxides as little as 2 nanometers. So we do know
8 that there is some metal on the surface. We don't know the
9 morphology yet. It's likely that it's a mixture of oxide and
10 metal, probably very small grains. We're looking into that
11 further.

12 DR. SAGÜÉS: So the question as to whether we have
13 anything resembling an active or passive layer, that's still
14 open, then, or do I understand correctly we don't even know
15 if it is a metallic sample yet?

16 MS. SUMMERS: We know that there is metal near the
17 surface, at or near the surface. We don't know the size of
18 the grains, we don't know how much metal.

19 DR. SAGÜÉS: But what I mean is, if you look at it, it's
20 a shiny piece of metal looking thing, like nickel, or--

21 MS. SUMMERS: This particular sample is, but I believe,
22 and I'm not sure, that some oxides can have a metallic
23 looking appearance, so we're attempting to sort that out now.

24 DR. SAGÜÉS: Okay. All right. I just want to say quite
25 explicitly that I, for one, feel that it would be very

1 reassuring to find an example of a metal that has stayed
2 passive over a geological time frame. Needless to say, that
3 would I think answer a question that has been asked already
4 for quite a long time. Thank you.

5 MS. SUMMERS: I think we agree with you.

6 DR. SAGÜÉS: Yes. Okay. Thank you.

7 DR. WONG: Unfortunately, my colleagues have decided to
8 ask 19,000 questions within the time allotted. I have four
9 people who still want to speak, but unfortunately we have to
10 move on, so I apologize.

11 Thank you, Mark.

12 MR. PETERS: So what you're telling me is I should run
13 right now so they can't catch me afterwards?

14 DR. WONG: Right. We do have till 2 a.m., but--

15 UNIDENTIFIED SPEAKER: Yeah, we've got 12 more hours.

16 DR. WONG: Our next speaker will be Rob Howard. He's
17 the integration manager in Science and Analysis Organization
18 for BSC. He was up here earlier this morning answering
19 questions. So, Rob, please continue with your beating.

20 MR. HOWARD: Okay, well, for the beatings to matter I
21 have to feel them, so there is some good news. We spent two
22 pretty good days with a subpanel on the board on this
23 particular document in June, and I'm not going to go through
24 all of the details we went through in those two days if
25 that's okay with you. I do have people here, not as many as

1 I thought because of the travel situation, who can help
2 answer questions that you may have on details, and I know at
3 least some of the staff have been digging into the document
4 pretty hard because I've gotten some pretty good and
5 insightful questions from them over the summer. So what I'm
6 going to go over is just kind of what the scope and contents
7 are, I'm going to try to correlate it a little bit to what
8 the NWTRB priority areas are, and wrap up with some
9 conclusions.

10 Next slide, please.

11 The scope of the SSPA, we had three general types
12 of information that we were going after and trying to capture
13 in this document. The unquantified uncertainties analyses,
14 those sometimes called conservatism. We'll show in at least
15 one case they weren't conservatisms, they were in the TSPA-
16 SR. We've tried to more explicitly quantify including
17 different parameter ranges, looking at different conceptual
18 models and alternative assumptions. And where we had biased
19 inputs in one direction we were looking for more unbiased
20 information out of the principal investigators.

21 And I should point out that, you know, I get up
22 here and talk about this document, I've done it several times
23 already, and it does represent the work of several hundred
24 scientists and engineers on the project, quite a massive
25 undertaking and lots of people worked on it, it wasn't just

1 me. I'm not that prolific or smart.

2 Updates in scientific information, Mark talked to
3 you about some of those updates in scientific information.
4 We did take the test data that the testing was reflecting and
5 what was available we tried to incorporate into the new
6 models, and that's always a good thing to try to constrain
7 our models by data. And so we tried to do a little bit of
8 that in the updates.

9 And the thermal operating modes, Jim Blink covered
10 that in some detail yesterday.

11 Next slide, please.

12 So what do these documents look like? We'll have
13 an introduction and the methods and approach, describe what
14 they were about, how we went about business, how we went
15 about collecting new information and new distributions in
16 some cases.

17 The content and level of detail for each section--
18 this is in Volume 1--is quite variable and it can be somewhat
19 troublesome to the reader when you look at the unevenness of
20 the documentation. And there's a couple reasons for that.
21 One is that, you know, just the extent of the analysis that
22 had to be performed and the amount of new information that
23 was collected during that time frame between when the AMR's
24 and PMR's had been published and when this document was
25 published, it was dependent on the process area, the data

1 generated, which is different, and the amount of information
2 that was necessary to evaluate the range of thermal operating
3 modes. So we had a lot more detail with respect to couple
4 processes and the rock and the EPS and drift environment than
5 we did for, say, biosphere, and that was--each section
6 contained a summary of information and recommendations for
7 use in Volume 2.

8 Next slide, please.

9 Again, Volume 2 racked out somewhat similar to
10 Volume 1, where you had introduction, methods and approach.
11 Section 3 was sensitivity analyses, and these were system-
12 level evaluations for the nominal scenario, looking at
13 basically one-offs, also subsystem-level evaluations, and
14 these were against the TSPA-SR Model, so it gave you
15 basically a delta analysis between performance with these
16 different model adjustments and the TSPA-SR. So that was
17 mainly to inform us on where we were with respect to
18 uncertainties in the TSPA-SR from individual adjustments and
19 then also used as the basis for what process models we
20 carried forward into the supplemental analyses that we had to
21 do for the comparison of the range of thermal operating
22 modes.

23 Section 4 of Volume 2 contained the supplemental
24 analysis, the analysis that we used to capture all the
25 information we felt was appropriate and have available at

1 this time for the range of thermal operating modes for the
2 nominal scenario, we looked at the subsystem results for the
3 nominal scenario and the evaluation of disruptive events and
4 conclusions.

5 Next slide, please.

6 To touch on what the relationship is between Volume
7 1 and Volume 2, it's similar to the relationship between the
8 AMR's and the PMR's and TSPA Rev. 00, ICN 01, where Volume 1
9 provides the technical basis for those total system analyses
10 that were documented in Volume 2. The one-off sensitivity
11 analysis in Volume 2 and the guidance that I just mentioned
12 that's in each section from Volume 1 determine the content of
13 the TSPA supplemental models.

14 Next slide.

15 UNIDENTIFIED SPEAKER: Rob, can you talk a little bit
16 louder, it's a little difficult to hear you.

17 MR. HOWARD: Sure. Attributes of the repository
18 performance, all I wanted to do was remind people--and Carol
19 Hanlon touched on this this morning, that we documented our
20 work in these analyses similar to the way it was organized in
21 the science and engineering reports, so we went through the
22 different expected processes that we think we're going to see
23 at a potential repository at Yucca Mountain and documented
24 our results in that manner, so trying to make it easier for
25 reviewers of both documents to have a correlation and present

1 the information in a somewhat systematic way because it does
2 tell you where we are with respect to the science and
3 engineering report. And I'll go through these areas in a
4 little bit of detail.

5 Next slide.

6 For unsaturated zone flow, what have we done?
7 Well, we have examined lateral flow in the Paintbrush Tuff,
8 we have expanded the 3-D flow fields. What we had to do in
9 the consideration of the range of thermal operating modes was
10 look at the fact that we probably would have to expand
11 repository footprint into other areas. So Bo Bodvarsson and
12 the folks at Lawrence Berkeley extended the model domain for
13 the UZ flow and transport models to capture a larger area of
14 real estate. And we found that the flow fields when we did
15 that were similar to the flow fields that we had done in the
16 past. There were some differences when we looked at what's
17 going on itself as far as transport times, and I'll talk
18 about that in a bit. We included the lithophysae properties,
19 thermal properties, in these analyses. We saw results that
20 Jim Blink showed yesterday on the importance and the
21 sensitivity of those, and I'll also show a little bit later
22 why that's important because of the real estate that we're
23 occupying.

24 The new THC model development we're working on was
25 in the scope of the previous AMR's and the PMR's in that

1 area. And the THM model--and Jim showed you one result of
2 the THM model in his discussion yesterday--we addressed
3 multi-phase flow and calculated stress-induced permeability
4 changes, which could have an effect on the flow fields.

5 Next slide, please.

6 The flow fields, just to point out and orient
7 everybody, the lower lith, if you look at how much real
8 estate that occupies and what the material properties are,
9 it's important that we recapture that. Also note that in
10 Volume 1--this does not occur in Volume 2 when we did the
11 total system analysis--we were looking at that larger
12 footprint area extending to the south, and I'll note that the
13 extension to the north here is further than it was considered
14 in the previous AMR's and PMR's. It had limited effects on
15 the UZ flow fields, but it did have some effect on UZ
16 transport times through the saturated zone.

17 Next slide.

18 For THC mountain scale, I just wanted to show one
19 result, and this was a result that Bo Bodvarsson had shown to
20 the panel in June and it does correlate a little bit with
21 what Jim showed you yesterday on the drift scale chemistry
22 results for the high-temperature and low-temperature
23 operating mode. But the pH of the waters forming above and
24 around the drifts in the repository went up there on the
25 order of 7-9, were those pH values. And the CO₂, because of

1 the degassing, was going down. So CO₂ goes down, pH was
2 going up. Chloride concentrations that were passed onto the
3 drift scale modeling reflect reductions and dilution from the
4 condensation and the increase was owing to boiling and
5 evaporation through the gas-based convection for the high-
6 temperature operating mode, not as extensively the low-
7 temperature operating mode. And then the effects of seepage
8 chemistry will propagate it through to the TSPA.

9 Next slide.

10 Seepage development. We expanded the seepage model
11 to include the lower lith, and again, because as I showed you
12 two slides ago that was important because a considerable
13 amount of repository real estate is in that unit. We reduced
14 the conservatism and the flow focusing factors. For the flow
15 focusing factors that we use in the TSPA-SR were only 40 or
16 50, in these analyses, when we try to take a more realistic
17 approach, we reduce those flow focusing factors down to in
18 the order of 4 or 5. So we dropped them about in the order
19 of magnitude.

20 THC and THM, we looked at the range of thermal
21 operating modes. We had to do multiple sensitivity analyses
22 for high temperature and low temperature, and then we
23 developed a fully coupled THM Continual Model and improved
24 the Distinct Element Model. So we have two different models
25 in that area.

1 Next slide, please.

2 The EBS system, the main improvement was the
3 propagation of the chemistries that came from the mountain
4 scale UZ down to the drift scale chemistry into the TSPA.
5 The soil horizon CO₂ concentrations, we looked at the
6 sensitivity of that, and then those were variable for both
7 the high-temperature and the low-temperature operating mode.

8 Next slide.

9 Just to give you a comparison, this is kind of a
10 shorthand of some additional tables that you have. As backup
11 information, the same tables are also in both volumes of the
12 SSPA in the front of both volumes. But, you know, where we
13 hadn't included the uncertainty in those AMR's and PMR's that
14 we had documented in the science and engineering report, we
15 did try to address those more extensively in these analyses.
16 So we looked at, again: compositions of liquid and gas
17 entering the drifts; seepage invert mixing and interactions,
18 and yeah, we didn't include that in the TSPA model; trace
19 element compositions and effects on chemistry; sorption on
20 the corrosion products; generation of colloids; and cement
21 leachate effects. Cement leachate effects on drift
22 chemistry, since we don't have a whole lot of cement in the
23 current design, wasn't a whole lot of point in propagating
24 that all the way through.

25 Next slide, please.

1 UNIDENTIFIED SPEAKER: Excuse me, Rob?

2 MR. HOWARD: Yes?

3 UNIDENTIFIED SPEAKER: I'm having a hard time hearing
4 you. I don't know if it's volume or just you need to project
5 a little bit more.

6 MR. HOWARD: Okay.

7 UNIDENTIFIED SPEAKER: Sorry.

8 MR. HOWARD: Do you want me to go back to the last
9 slide?

10 UNIDENTIFIED SPEAKER: No, that's all right.

11 MR. HOWARD: I apologize for that. Waste package
12 corrosion--

13 DR. RUNNELLS: I didn't hear the last thing you said on
14 the last slide.

15 MR. HOWARD: Okay, let's go back to the last slide.

16 DR. RUNNELLS: You mentioned generation of colloids from
17 corrosion products.

18 MR. HOWARD: Yeah, I mentioned it, but the last thing I
19 said was with respect to cement leachate and effects on the
20 in-drift chemistry, and what I said was we don't have a whole
21 lot of cement in the placement drifts, so we don't really
22 need to propagate that through.

23 DR. RUNNELLS: Thank you.

24 MR. HOWARD: Okay, waste package corrosion developments.
25 I guess this is where the beating continues. But since

1 we've talked about it quite a bit already, all I'll say is
2 that, you know, we did look at additional range of water
3 chemistries, considered to a limited extent the effect of
4 soluble lead and other minor constituents in the natural
5 systems. And April showed you results that Catholic
6 University had done that had what we consider minor
7 constituents.

8 The question was raised, "Well, what's the
9 relevance of those results and why are you showing us these
10 results if these aren't the expected conditions?" Another
11 way to get at the problem, I think that those results are
12 useful for us to look at at the Project because what she
13 demonstrated was that, you know, these materials will corrode
14 under certain conditions, and we'd better understand why or
15 why not we have those conditions. And I think that it's just
16 a different angle of tackling the problem, and that's useful
17 in many ways to try to formulate or look at what could go
18 wrong or what could happen in a different way just so that
19 you understand why you don't think that it could go wrong.
20 Because it does show that these materials are not, you know,
21 no corroding, they will corrode.

22 We considered sources of other soluble salts, and
23 Gerry touched on that a little bit yesterday about the
24 programs that we have to better characterize the rock dust
25 and the in-coming ventilation dust. We're, you know,

1 continuing to look at a dust sampling that's been generated
2 since the mid-'80's and also what we can generate at the
3 site.

4 Next slide, please.

5 Phase Stability in Alloy 22. Tammy Summers and her
6 team did some additional theoretical modeling of the base
7 metal. We did not show any phase stabilities under
8 repository conditions. We did not show any evidence of long-
9 range ordering as long as temperatures were below 300 degrees
10 C, so that's an important temperature dependency to keep in
11 mind. And preliminary weld data did not indicate
12 instabilities below approximately 200 degrees C.

13 Alternative lines of evidence. The degradation in
14 mechanical and corrosion properties due to aging did not
15 appear to be likely below 300 degrees C. And Alberto talked
16 a couple minutes ago and Tammy answered him to some extent on
17 looking at these other natural alloys, if you will, that may
18 indicate a stability of passive films over geologic time
19 frames. And so we've taken those issues to heart, we'll look
20 at them, we think that they're important and we're going to
21 continue to look at them. We have a little bit in the SSPA
22 on that.

23 Next slide.

24 Waste form mobilization. In-package chemistry, we
25 looked at the effects of high-level waste degradation rates

1 and steel degradation rates and how those can change to in-
2 package chemistry over time, which could in turn affect
3 dissolution rates.

4 We looked at dissolved concentration limits of
5 thorium, neptunium, plutonium and technetium. We looked at
6 the different controls on that and we had updated the
7 solubility models that have lower means and wider ranges.
8 That's one of the things that Bill showed you yesterday as
9 part of the uncertainty analysis that we did.

10 For cladding, creep rupture and stress corrosion
11 cracking, we looked at different failure criteria for those
12 models, localized corrosion rate uncertainty, tried to
13 characterize a little bit better seismic failures. We have
14 updated information on seismic analysis, so we included those
15 sensitivities in there, and unzipping velocity uncertainty.

16 We did develop a simplified model that expanded the
17 range of reversible and irreversible colloid plutonium
18 attachment. That's another sensitivity analysis that we've
19 done in the waste form area.

20 Next slide.

21 Flow and transport modeling in the engineered
22 barrier system. Things that hadn't been looked at in any
23 detail for the science and engineering part was the seepage
24 evaporation rate in the drip shields. We took another look
25 at our drip shield and waste package flux models and the

1 splitting algorithms that we had for where the fluxes were
2 going to go.

3 In-package diffusion, we developed an in-package
4 diffusion model. A couple things to point out about that
5 model. One thing is yesterday Abe told you his unauthorized
6 view of the TSPA Peer Review Panel's thinking on this and
7 they thought that, you know, our continuous film model for
8 diffusion in the waste package was unrealistic or incredible.
9 I wonder what they would have thought of our model before
10 that one.

11 The NWTRB I think about a year ago, September 20th
12 of last year, in their letter to Department of Energy, one
13 thing that I do recall about that letter is they mentioned
14 the fact that--or they suggested that we could develop a
15 transport model within the waste package and look at that as
16 a way to look at different performance. So that was one
17 thing I remember. There's a couple other things I remember.
18 That's one I wanted to point out. So we did take a stab at
19 that and maybe it is incredible to have continuous film, but
20 it's better than what we had before, which was an
21 instantaneous pathway, as the Board appropriately recognized
22 over a year ago, so we did take that to heart.

23 And radionuclide sorption within the waste package
24 and the sensitivities to that. We developed models that we
25 had not included in the TSPA-SR.

1 Next slide, please.

2 Some other things, the drip shield condensation.
3 Alberto was asking a little bit about that, about the
4 temperature differentials and how water might condense in the
5 drip environment, so we developed some analyses of that to
6 look at whether or not that was going to be an important
7 process that might effect transport. We did some sensitivity
8 analysis on alternate conceptual models, what we call the
9 bathtub model, versus the flow-through model. Diffusion
10 through the invert, we did additional work in trying to
11 develop how that process is going to occur, and then
12 microbial sorption and transport, we did some additional
13 sensitivity analysis in Volume 1. We didn't carry those
14 through to Volume 2, but there is work in there on that.

15 Next slide, please.

16 Transport times. This is UZ transport. I
17 mentioned that the experimental repository footprint didn't
18 have major effect on UZ flow. The flow fields were in fact
19 similar, but there were some differences in transport. The
20 drift shadow model, we did some preliminary development of
21 how that model might work and predicted that the transport
22 times, if you include the drift shadow effect, could be on
23 the order--five minutes, okay.

24 Next slide, please.

25 Including the southern extension as far as

1 transport goes would result in slightly longer transport
2 times to the water table.

3 Next slide, please.

4 For the saturated zone, we included new data that
5 we got from the Nye County work, looked at the hydraulic head
6 and water level elevations, so we recalibrated on that.

7 Mark talked about the Alluvial Testing Complex, so
8 I won't get into that in any detail.

9 We had in the SC portion of the SSPA an alternative
10 conceptual model for the large hydraulic gradient and we had
11 alternative representation of the Solitario Canyon Fault.

12 Next slide. Next slide.

13 Biosphere, I want to touch on biosphere. We
14 updated our FEPS analysis in the biosphere area for what we
15 thought were relevant processes. Relative exposures to
16 receptor groups, we knew the issue was coming up with respect
17 to a critical group of reasonably, maximally exposed
18 individual, so we did some head scratching in that area that
19 helped us prepare for the calculations that we're doing right
20 now with respect to 197.

21 Climate effects on water usage and ingestion
22 exposure, per 197 that's one of the things that you're
23 supposed to look at in the biosphere, is the climate.
24 Transfer coefficients. Revised biosphere dose conversion
25 factors based on this information.

1 The question was asked yesterday which has more
2 uncertainty, the waste package performance or the biosphere
3 model. The biosphere has much more uncertainty than the
4 waste package, but regulatory uncertainties seem to dominate
5 that issue, and so a lot of those uncertainties are taken out
6 by regulation. I think that that's an important thing to
7 consider as a modeler. I mean, when you do do the
8 calculations, consequence calculations, at a specific target,
9 you have to formulate the problem. It's an Eulerian
10 formulation, so you're looking at the problem differently.
11 If you weren't looking at consequences at a specific
12 location, you know, have a Lagrangian formulation of the
13 problem, it could produce different insights. I believe
14 that's what Abe was talking about in his unauthorized
15 translation yesterday with respect to looking at the problem
16 as a fate of contaminants problem rather than a consequence
17 problem over long periods of time. So it does give you a
18 different insight into how the system behaves. It's not
19 formulated with respect to a consequence to a receptor.

20 Next slide.

21 Disruptive events. We updated wind speed
22 information, and that was related to a KTI agreement we had
23 and that had effects on the disruptive dose consequences.
24 Probability of dike intrusions were reconsidered. We had
25 scaling factors for different layouts, but they weren't

1 propagated through Volume 2. Evaluation of dose
2 sensitivities to waste particle size distributions in an
3 igneous eruption, that again was related to a KTI issue that
4 we had with the NRC staff.

5 Next slide.

6 Volume 2, again, the one-off sensitivity analysis,
7 I know that there is some trouble with how we use these
8 analyses where we looked at the result at the subsystem level
9 and we made some what I would consider rational decisions
10 about whether to move them forward or not. Results are
11 directly comparable to the TSPA-SR, so it tells you where we
12 are with respect to that document.

13 Next slide, please. Next slide.

14 NWTRB priority areas, you guys know what your
15 priority areas are, I don't need to tell you that.

16 Next slide, please.

17 We did try to look at meaningful quantification of
18 uncertainties and conservatisms in the nominal performance.
19 As Bill showed yesterday, supplemental models show
20 significantly wider ranges of doses, i.e. maybe more
21 uncertainty than we had shown in our previous calculations at
22 a given time and times to reach the given dose. After the
23 first 10,000 years, the base case model appears to be
24 conservative. The other way to look at that is before 10,000
25 years the SSPA appears to be more conservative. It depends

1 on your frame of reference, again. And then just looking at
2 mean results, and I don't mean to affront anybody on the
3 Board, we're just looking at the mean results for the SSPA,
4 they were on the order of 10₄ mrem per year as opposed to 0.
5 So that was an area where we weren't conservative and it was
6 a useful exercise to get at this information.

7 Next slide.

8 Thermal operating mode, Jim Blink talked about that
9 yesterday.

10 Next slide.

11 Corrosion processes. We did document, you know,
12 where our current understanding at the time was of the
13 corrosion processes. We developed a framework for the
14 conceptual model for long-term passive film stability. It
15 was one of the models discussed at the workshop that the
16 NWTRB hosted last month. Stress corrosion cracking, we've
17 got updated information for our parameters and models there.
18 And then we already talked about aging and phase
19 stabilities. Temperature dependent general corrosion model,
20 Jim went through that yesterday as well.

21 Next slide, please.

22 Multiple lines of evidence. The idea of multiple
23 lines of evidence wasn't new to the project. The way to
24 capture it was new. We readily admit that we hadn't done a
25 good job of articulating what those lines of evidences and

1 why we think the way we think about processes by using what
2 we've gotten from past experiences and analogues. We did try
3 to be explicit about this in the SSPA. I think just about
4 every section of Volume 1 does touch on multiple lines of
5 evidences. It tells you what we're thinking about them. I
6 know it may not be the way the NWTRB Board or as individuals
7 might define multiple lines of evidence, but it gives us now
8 a point of discussion, and I think that that was good.

9 Next slide.

10 What have we learned by doing this? Quantification
11 of uncertainties, improved our understanding of both
12 conservatisms and non-conservatisms in our process model
13 representations, so that was useful. Post-closure impacts of
14 range of thermal operating modes and a variety of operating
15 mode configurations can be evaluated by selecting the
16 appropriate thermal initial conditions of model
17 representations. What I mean to say there is, you know, we
18 were looking at the thermal implications, we weren't looking
19 at all the design detail implications in this analysis, so we
20 chose thermal initial conditions that would get us at the
21 lower temperatures and then did sensitivity analysis to show
22 that you could get at that by a multitude of repository
23 operation configurations. I know that's not quite the same
24 thing as what Priscilla was thinking, but that's what we did,
25 and I want to be honest about that.

1 Next slide.

2 Waste package degradation evaluations with respect
3 to thermal operating mode need to consider the thermal
4 dependencies and the local chemical environment. It's
5 important it's not just a temperature parameter, it's a
6 temperature and a chemistry that's going to give you waste
7 package failures by any number of corrosion mechanisms.

8 Multiple lines of evidence, capturing helped us
9 with our thought process and improving our own understanding
10 and communication of what we believe to be repository
11 process. I for one really don't know what it is that I know
12 or don't know until I write it down and it was useful to
13 start writing this stuff down. I'll note, as was noted in
14 our meetings with the Panel in June, that we focus primarily
15 on lines of evidence that support the thinking of the
16 processes that we have. We do need to do more work with
17 respect to going out and looking for lines of evidence that
18 are contrary to what it is that we're thinking, make sure
19 that we address the whys and wherefores of that as well.
20 It's not the end of the story, it gives us a point of
21 reference for continuing work.

22 That's it.

23 DR. WONG: Thank you, Rob. Dr. Runnells.

24 DR. RUNNELLS: Runnells, Board. I got ahead of the
25 19,000 questions of my colleagues this time, so I'm going to

1 go back and Mark may want to address this, I wanted to ask
2 it, but it's on one of your slides, though, Ron.

3 MR. HOWARD: Okay.

4 DR. RUNNELLS: Your Slide 16.

5 MR. HOWARD: 16, please.

6 DR. RUNNELLS: The second bullet, "Dissolved
7 concentrations of thorium, neptunium," and so on, the second
8 line there, the updated solubilities, we're talking there
9 specifically about neptunium, I guess, as opposed to new
10 solubilities for thorium, plutonium and technetium; is that
11 correct?

12 MR. HOWARD: Christine Stockman, you want to shed some
13 light on that? There she is. Thank goodness you didn't have
14 to travel from Albuquerque today.

15 MS. STOCKMAN: We did do new ranges for all four of
16 them.

17 DR. RUNNELLS: Experimentally or evaluation of thermal
18 data?

19 MS. STOCKMAN: We reevaluated the data we already had
20 and we made different assumptions about the redox chemistry
21 within the package and the controlling solids.

22 DR. RUNNELLS: Okay. And some of the work is ongoing at
23 Argonne in experimental work, is that correct?

24 MS. STOCKMAN: Exactly, yes.

25 DR. RUNNELLS: Just on neptunium?

1 MS. STOCKMAN: We're looking at both neptunium and
2 plutonium. Right now we have some experiments planned where
3 we will take spent fuel, fully oxidize it, and then do batch
4 tests to see if the solubilities we would get under those
5 conditions are similar to the drip or the Wilson batch tests
6 that were done with most of the spent fuel not oxidized.

7 DR. RUNNELLS: Thank you.

8 MS. STOCKMAN: Um-hum.

9 DR. RUNNELLS: I don't have 19,000, but I have another
10 one or two. If we could look at your Slide 15.

11 MR. HOWARD: 15, please.

12 DR. RUNNELLS: The very last line about Josephinite. I
13 think that may be taking us down a misleading path unless
14 we're careful. Until I know what the geologic situation is
15 in which we're finding Josephinite in that creek in Oregon,
16 I'm not going to trust anything about two-phase metastable
17 structures for any number of years. Those nodules, as I
18 understand it, are weathering out of a serpentinite, which is
19 a rock that forms under reducing conditions and high
20 pressures. And if those nodules weathered out last year from
21 the serpentinite and now we find them in the creek, to infer
22 that the metastable structures have existed under conditions
23 that we care about, which are lower temperature, lower
24 pressure and oxidizing, would be misleading. So my only
25 point is, in this discussion of Josephinite and oxidized

1 surfaces and metallic phases and so on, we have to know what
2 the geologic environment was, is and was, for those
3 materials.

4 MS. SUMMERS: Summers, Livermore. Actually, I think a
5 lot is known about how Josephinite formed, and it forms at
6 high temperatures under reducing conditions. The point here
7 is that because the two-phase structure can be fit to the
8 diagram, phase diagram, you can tell what temperature it
9 formed at. What that tells me is that it has not changed.
10 If it had changed after it formed, then it would not fit to
11 the phase diagram anymore at those temperatures.

12 DR. RUNNELLS: I agree 100 percent, but the question is,
13 how long has it been in the creek under oxidizing low-
14 pressure conditions? It could have been there a year, and
15 therefore it's--

16 MS. SUMMERS: No, it formed during the igneous
17 intrusion, so--

18 DR. RUNNELLS: I agree with formed, but where we're
19 finding it today is in the sediments of the creek downstream
20 from where it formed.

21 MS. SUMMERS: Correct.

22 DR. RUNNELLS: And that's the information we're trying
23 to apply to the metals in the repository. If it's ten years
24 old, it may change. If it's one year old, it may not. The
25 conditions under which it formed are extremely important, but

1 equally important is how long has it been in the creek.

2 MS. SUMMERS: Here we're talking about changes in the
3 internal structure, okay, and those changes are more likely
4 the higher the temperature. It really is irrelevant how long
5 it's been at room temperature.

6 DR. RUNNELLS: How about reducing conditions?

7 MS. SUMMERS: That doesn't affect the phase stability.

8 DR. RUNNELLS: Oh. You and I will talk about it
9 independently because I'm taking too much time.

10 MS. SUMMERS: Okay.

11 DR. RUNNELLS: And we will, please. And my colleague,
12 Dr. Sagüés, is going to pursue it, I can see that. One last
13 question, please. Your Slide 10.

14 MR. HOWARD: 10, please.

15 DR. RUNNELLS: Can you explain why there are higher pH
16 zones in that top illustration so far away from the
17 repository cross-section to the lower right and to the upper
18 left? That one, um-hum.

19 MR. HOWARD: The lower right and over here?

20 DR. RUNNELLS: Yeah, right.

21 MR. HOWARD: No, I can't, but maybe Dr. Houseworth can.
22 And if he can't, then--

23 UNIDENTIFIED SPEAKER: Is this a north-south cross-
24 section?

25 DR. RUNNELLS: I'm just wondering if you really

1 attribute it entirely to the degassing associated with the
2 projected repository if it's happening that far away and
3 lower.

4 MR. HOWARD: You want to take a stab at it, Jim?

5 DR. HOUSEWORTH: Jim Houseworth with Lawrence Berkeley.
6 Rob, I don't think I can help you on this one.

7 DR. RUNNELLS: Having covered that one, let's go to the
8 tough one.

9 MR. HOWARD: Thanks, Jim.

10 DR. RUNNELLS: Kind of wish he'd gone home. In the last
11 diagram on this page, if I look at the chloride
12 concentrations, the color is a little hard for these old
13 eyes, but it looks like 10_5 mg. per liter right in the center
14 of that dark blue, at least on the print that I have, it's
15 easier to see. It's harder to see on that slide.

16 MR. HOWARD: Yes, it is.

17 DR. RUNNELLS: But in the xerox print, the center is
18 about 10_5 I think, maybe $10_{4.5}$. That's somewhere around
19 100,000 mg. per liter of chloride. But in the presentation
20 that Gerry Gordon gave yesterday, the highest chloride
21 concentration that was used was in the 1,000 XJ13 water,
22 which is about 5,000 mg. per liter. So this illustration--I
23 sense motion out of the corner of my eye--is about 20 times
24 higher in chloride, and if you apply that to fluoride, you
25 get up to about 30,000 mg. per liter fluoride in a sodium

1 chloride carbonate brine. So I'm asking about the comparison
2 between this model and the experimental work that's being
3 done with simulated waters.

4 DR. HOUSEWORTH: Jim Houseworth, Lawrence Berkeley. The
5 only thing I can say is that with these THC models we're
6 finding these extremely high concentrations when we're down
7 to very low water contents, typically, and that water is
8 generally not mobile because it's at such a low water
9 content. So in that case those high concentrations and very
10 low residuals of water exist, but maybe not moving.

11 DR. RUNNELLS: Just make that comparison for me, you
12 know, later when you have time.

13 DR. HOUSEWORTH: Okay.

14 DR. RUNNELLS: Because if you do that extrapolation, you
15 get 30,000 mg. per liter fluoride. Okay, my 19,000 questions
16 are over, Dr. Wong, thank you.

17 DR. WONG: Okay, we have four people who want to ask
18 questions. The first person will be Dr. Craig, the second
19 person will be Dr. Sagüés, the third one will be Dr. Bullen,
20 and the last one will be Dr. Parizek.

21 DR. CRAIG: Paul Craig. The relevant figure here, John,
22 is No. 19, and this has to do with the drift shadow, which we
23 talked about previously. Now, one of the things that we know
24 is that the Payer Panel told us that there's no reason to
25 believe that the C-22 won't work, which is sort of a weak

1 statement. Maybe it will. But if it doesn't, the mountain
2 needs to do something. And back a year and a half ago Bo
3 Bodvarsson educated me on their modeling on the unsaturated
4 zone and had me read a famous Phillip's paper, which shows
5 that the drift shadow effect is absolutely a real phenomenon
6 if you're dealing with a homogeneous medium. Very
7 compelling. Here you're not dealing with a homogeneous
8 medium. You get a very large effect, which turns out now to
9 be really extremely important in this new document. As a
10 matter of fact, even with the new effect, while it helps a
11 lot, you still have transport times which are comparable to
12 or substantially less than 10,000 years. You now seem to be
13 relying on a brand-new silver bullet which has, the best I
14 can tell, almost no experimental validation underlying it.
15 This is almost pure modeling. Why should we trust it?

16 MR. HOWARD: Well, why should you trust it? The short
17 answer to that is that you shouldn't trust anything, you
18 should do exactly what you're doing, which is examine it very
19 carefully and see if the weight of evidence would convince
20 you that it's a reasonably expected thing to happen. I'm
21 going to give Dr. Houseworth the chance to save my job one
22 more time.

23 DR. HOUSEWORTH: Well, I don't think that you can say
24 we're relying on it at this time.

25 MR. HOWARD: That is a good point, it wasn't propagated

1 through, so--

2 DR. HOUSEWORTH: Well, there was a certain part of it
3 that was propagated through just in an attempt to look at it,
4 but if we were to rely on it, we would certainly be doing
5 some testing, and we in fact have been looking into ways to
6 do testing for this.

7 DR. CRAIG: So when you say you're not relying on it,
8 does that mean that we should consider that it's not included
9 and we should ask for data that does not include it? Is that
10 the point you're making?

11 DR. HOUSEWORTH: It was put in as I think a one-off in
12 the SSPA, right?

13 MR. HOWARD: It was a sensitivity, yes.

14 DR. HOUSEWORTH: That's all I'm saying as far as the
15 TSPA, but it's not, you know, baseline.

16 DR. CRAIG: It is not in the baseline?

17 DR. HOUSEWORTH: No.

18 DR. CRAIG: Okay. Thank you.

19 MR. HOWARD: Well, now Leon is going to put the nail in
20 the coffin on my job and say that that's not true, so thanks
21 for trying, Jim.

22 DR. REITER: The assumption is that according to your
23 own table you did include it partially in effect that you
24 assume that all the diffusive releases went into the matrix
25 and all the invective releases went into the fracture. And

1 that is listed as part of the drift shadow effect.

2 MR. HOWARD: Yes, that is a good clarification. I was
3 thinking more of the implementation side with respect to the
4 modeling in Volume 2 with respect to the process level
5 modeling in Volume 1, and we didn't go at it the same way.
6 The effect I guess you could correlate that way.

7 DR. HOUSEWORTH: Right. Jim Houseworth. There were
8 certain aspects of the drift shadow process model that
9 weren't carried forward except for the splitting that you are
10 referring to.

11 DR. WONG: Dr. Sagüés, you yield your time?

12 DR. SAGÜÉS: Well, I'll respond to the benefit of Dr.
13 Bullen and if we have time afterwards I would like to ask my
14 question, but I promised to him that--

15 DR. BULLEN: Oh, go ahead, go ahead. I just have one
16 quick one.

17 DR. SAGÜÉS: Well, actually, I wanted to bring up this
18 thing that we left at the end of the presentation of the
19 "Preliminary Site Suitability Evaluation". If you can find
20 Picture 19 from two presentations ago, the one on preliminary
21 site suitability evaluation. It should be listed under
22 Sullivan in the printout. Sullivan. Yeah, 19.

23 (Pause.)

24 DR. SAGÜÉS: Okay, very good. This brings us up to the
25 issue that we had a little while ago, and the question here

1 had to do with uncertainty on corrosion models. This line in
2 here represents what would happen if one would assume, I
3 believe, that 1 out of every 4 realizations, 1 package out of
4 10,000 would experience some kind of a massive material
5 problem or a severe material problem because of that weld
6 maybe that didn't get--now suppose that that kind of an
7 effect were comparable to the presence of, say, significant
8 pitting in the package, elemental things will be more or less
9 equivalent or not. Some year it will help them, somewhere
10 around year 2,000, something in that order, relatively early
11 in the stage of the system.

12 Now, if that were to happen because the signs were
13 severely wrong on corrosion, and now we have all the packages
14 having that kind of a problem, then am I correct in saying
15 that that would be sort of comparable to lift in one, two,
16 three, four cement, we're then multiplying by four, which
17 will take us around there somewhere? Is that sort of like a
18 reasonably ballpark way of thinking about it?

19 MR. HOWARD: That's exactly the calculation that Jim
20 Blink and I went through.

21 DR. SAGÜÉS: Okay.

22 MR. HOWARD: So yes.

23 DR. SAGÜÉS: Okay, so that will take us dangerously
24 close to the 15 mg. kind of that's somewhere around there, I
25 believe. Now, suppose now--and I just want to continue a

1 little bit farther--suppose that the science is okay, but not
2 quite okay, maybe 90 percent okay, then in 1 out of every 10
3 sort of alternative features, this science was wrong and the
4 high temperature will result in excessive pitting. So then
5 that will take us from there to there. And if the science is
6 very good, 99 percent good, what it will take us up to there,
7 a couple of us know what we'd really like to be, but still,
8 you know, it begins to look pretty bad, even if the science
9 is 99 percent right. I mean where am I wrong with this chain
10 of thinking? I would like to hear what you have to say about
11 that.

12 MR. HOWARD: Okay, I'll tell you what I have to say
13 about this, then. I don't understand if the science is 99
14 percent right how I could correlate that to those high doses.
15 But I will tell you that as far as localized corrosion goes,
16 the corrosion scientists do have models for localized
17 corrosion, we do know that localized corrosion can occur with
18 these materials, the question is whether or not we have the
19 right environmental conditions for it to occur. So in the
20 ESPA we did not screen it out as Dr. Craig had implied with
21 the low probability. In the FEPs process, localized
22 corrosion can occur and we allow it to occur if the
23 conditions exist. So that's one part of the story. It's in
24 the model.

25 The other part of the story is, although it may not

1 be convincing to everyone whether or not the science is
2 right, that's the fundamental question that we're going after
3 with the waste package peer review. It's a fundamental
4 question that is gone after with the TSPA peer review panel
5 looking at the science behind it. The NRC and the Center are
6 also going after that fundamental question. We, ourselves,
7 continue to ask that question whether or not the science is
8 right. So the probability of the science being wrong is,
9 what, it's one minus probability of waste package is right.
10 Before we assign numbers to it--and I'm not sure if that will
11 be a useful exercise--we have the waste package peer review,
12 we have the TSPA peer review, we have the NRC staff reviews,
13 we have the Center reviews, we have the State of Nevada.

14 DR. SAGÜÉS: Now, I may have to back up and go the other
15 way, but yes.

16 MR. HOWARD: No, well, I mean we have to consider all of
17 these--

18 DR. SAGÜÉS: Yes.

19 MR. HOWARD: --inputs I think. We have the NWTRB, we
20 have the Department of Energy and contractors. And I believe
21 all of those organizations are after the same question,
22 whether or not that science is right. And I hope that
23 everybody is after that question.

24 DR. SAGÜÉS: Yes.

25 MR. HOWARD: I have a fundamental interest, we're

1 talking about the safety of my daughter, right?

2 DR. SAGÜÉS: Right. Now, what is interesting, though,
3 is could this be the beginning of some way of addressing
4 uncertainty on models being drawn and incorporating them in
5 the performance models?

6 MR. HOWARD: Jenny, can you help me with this one? I
7 don't know how to get at this kind of elicitation, which I
8 think it is. Karen, maybe you can help me.

9 DR. WONG: Alberto, is there a way that you can have
10 your question answered later?

11 DR. SAGÜÉS: Sure. Certainly. I just wanted to bring
12 up the issue.

13 MR. HOWARD: It's a very important issue and there's a
14 lot of people looking at it, and I think we all owe it to
15 ourselves to make sure that we rack it out.

16 DR. WONG: Dan Bullen, if I give you time, are you going
17 to buy me dinner?

18 DR. BULLEN: Bullen, Board. And I'm going to actually
19 try to tie into what my colleague, Alberto Sagüés, just
20 brought in, and I'm happy that he brought up this diagram,
21 because even though you thought you got saved by the bell
22 with respect to going by the NWTRB priorities, one of the
23 questions that we have is an evaluation and comparison of the
24 base case repository design with a low temperature design.
25 And my interpretation of the presentations in the past two

1 days and the SSPA and all of the evaluations that we've done
2 is that your interpretation that these curves and that
3 comparison to that answers the issue. And I guess the
4 question that sort of stuck in my mind and it didn't strike
5 me until, you know, a day after Jim Blink's presentation, but
6 Jim talked about the comparison of LTOM and HTOM and noted
7 that there were a couple of errors in the thermal hydrologic
8 models that were presented earlier that got rectified, and
9 that's fine. But he made a statement, and I guess it didn't
10 strike me until I had lunch with a colleague and we talked
11 about things, that his statement was--and I looked at my
12 notes--"If there's no permanent changes in the natural or the
13 engineered barrier system, then these things happen." And so
14 I guess the thing that strikes me is, if I heat the mountain
15 up in boiled rock and I should be able to get data from all
16 types of experiments that we've been running, including the
17 drip scale heater test, that would show me the kinds of
18 changes that I get when I do and don't boil the mountain.
19 And the kind of changes that I would expect to see at a high-
20 temperature design that may have localized corrosion more
21 effectively operational versus one that doesn't have more
22 effective operational, then I don't think I'll see such
23 similarities. And I know there's, you know, a couple orders
24 of magnitude at different locations and the like, but I guess
25 the issue there is, we've asked you to take a look at a low-

1 temperature repository design, you've made great strides,
2 maybe you're not quite there. Would you like to respond to
3 that, I guess is what I'm saying.

4 MR. HOWARD: Yeah, I'll respond to that. You
5 specifically did say in your letter lower temperature
6 designs. What we did was a range of operating modes, and
7 there are probably both semantic and conceptual differences
8 with what we did. This is what we could do to address the
9 issue with the information that we had. It's not starting
10 with a clean sheet of paper, as I think Priscilla has
11 suggested, more than once, and I acknowledge that. I
12 wouldn't want to make it more than it is.

13 DR. WONG: I apologize, Dr. Parizek, I have to pass you
14 by.

15 DR. PARIZEK: Parizek, Board.

16 DR. WONG: Dr. Parizek, I have to pass you by.

17 DR. PARIZEK: Oh, you have to.

18 DR. WONG: Yeah.

19 DR. PARIZEK: You said you apologize for passing me by.

20 DR. WONG: I'm passing you by. Debra Knopman has a
21 statement to make but not a question.

22 DR. KNOPMAN: Knopman, Board. Now, you put in some
23 backup slides on the large hydraulic gradient. This is a big
24 question the Board has. We don't have time to address it, I
25 just wanted to note that I didn't want you to think we didn't

1 care about that.

2 MR. HOWARD: No, I know you don't.

3 DR. KNOPMAN: And we'll talk about--

4 MR. HOWARD: That's why I put them in there, I wasn't
5 sure what we were going to get to.

6 DR. WONG: Okay, thank you, Rob, you still look well.

7 Okay, we are scheduled for a break about a half an
8 hour ago, and we will take a break, but first April Gil has
9 an announcement that she would like to make.

10 MS. GIL: Yes, I just wanted to say that quite a few
11 people are asking about the range of operating temperatures,
12 key technical issue, technical exchange the Department of
13 Energy and NRC were going to have on Thursday and Friday.
14 We're evaluating whether or not we're going to be able to
15 have this meeting in light of the tragedy that happened this
16 morning. We're trying to set up a video conference in VTEL
17 with the NRC at Rockvale and the Center in San Antonio if
18 possible. We won't know the answer until sometime tomorrow
19 whether or not we're going to go ahead and have the meeting,
20 and as soon as we know, we will let you know. Thank you.

21 DR. WONG: Thank you. All right, it's 3:38 by the
22 little clock that we have here, ten-minute break, expect
23 everybody back at 3:50.

24 (Whereupon, a break was taken.)

25 DR. WONG: All right, our next presentation is from Dr.

1 Dale Hammermeister, who is working with Nye County. Dr.
2 Hammermeister has extensive experience in hydrogeological
3 processes and site characterization related to both solid
4 hazardous or radioactive waste. Dr. Hammermeister, please.

5 DR. HAMMERMEISTER: First I wanted to thank the Board
6 for giving us the opportunity to let you know what we've been
7 doing lately. This work is funded, as you know, by the
8 Department of Energy. We have a cooperative agreement with
9 the Department of Energy. Drew Coleman is the technical
10 lead. I am one of three members of the Nye County group,
11 technical group, Rena Downy and Kathy Gilmore make up the
12 rest of the group. Most of the work is done by Nye County
13 Consultants, a talented group. Jamie Walker is our senior
14 geologist, Tom is the lead hydrogeologist, Jay is our
15 drilling engineer, and Dave is with well design and aquifer
16 testing.

17 But anyway, today, very quickly I wanted to just go
18 over our EWD DP Drilling Program, the Phase III primarily,
19 and also to talk a little bit about some ventilation work
20 that's going on.

21 Could I have the next slide, please?

22 I'd like to talk about our overall program
23 objectives, where we are in the program. The location of our
24 Phase III wells that we're putting in, drilling and
25 completion objectives, our geologic sampling and testing

1 objectives, and then really spend most of the time talking
2 about some preliminary results that we've got from our
3 drilling which we think are real interesting, and then some
4 proposed additional wells.

5 Next slide, please.

6 I'm not going to talk about a whole bunch of other
7 things that Nye County is doing associated with putting wells
8 in the ground.

9 Next slide.

10 The overall program objectives have always been to
11 develop a capability for early warning groundwater monitoring
12 network between Yucca Mountain and Amargosa Valley, the
13 populated areas, to establish a baseline water quality
14 information, and to fill in hydrogeologic data gaps in a
15 bunch of areas: flow paths between tuff and alluvium; nature
16 and continuity of alluvial textural layers. We're interested
17 in the layering in the system--Nye County, of course, is
18 interested in the health and safety of the Nye County
19 residents and we're interested in potential preferential flow
20 paths through coarse grain layers and also finer grain layers
21 that may retard the movement of contaminants. And of course
22 we're interested in hydrogeologic units underlying alluvium,
23 hydraulic gradients and flow and transport parameters.

24 I'm going to primarily talk about--I mean the data
25 we'll present today, we'll talk primarily about layering in

1 the system, some information we've obtained from our drilling
2 program about layering in the alluvial system, a little bit
3 about hydrogeologic units underlying alluvium and flow and
4 transport parameters.

5 Next slide, please.

6 You've been updated before on Phases I and II. I
7 won't go into that right now. Generally, we did some good
8 technical work we think and produced some good data and also
9 learned an awful lot I think, and we're trying to put this
10 into Phase III, which we started in July. And we're focusing
11 primarily on filling data gaps in the zone of uncertainty,
12 and that is the zone between Highway 95 and Yucca Mountain.

13 Next slide, please.

14 The Phase III wells are shown here. I want to talk
15 about their location. We are drilling two wells, the fact is
16 we completed two wells at the ATC location, IM1 and IM2. We
17 have two other optional wells at that location and we have
18 two wells at the 22 location, two at the 10 location and two
19 at the 18 location.

20 Next slide, please.

21 This is the ATC location. The existing wells are
22 19D and 19P. We finished drilling and completing IM1 as a
23 multiple screen monitor well. We'll show you, again,
24 completion a little bit. And we just finished drilling and
25 we're in the final stages, the final day or two, of

1 completing IM2.

2 Next slide.

3 This is the typical completion, it's a multiple
4 screen well. The screens, of course, are sealed with
5 bentonite seals between the screens. The wells are suitable
6 for sticking in package systems to isolate zones so that we
7 can do tracer tests, we can pump from these zones, we can do
8 hydraulic tests, and we can obtain different water quality
9 samples from the different screens. Nye County is actually
10 going to install some Westbay equipment, which is a removable
11 package system that allows us to sample and to monitor from
12 individual screens.

13 Next slide, please.

14 At the upgrade in locations, the 10, the 18 and the
15 22 location, we plan to drill two holes, a P-hole, a
16 piezometer, which is really a dual completion piezometer, and
17 we'd like to think about it down the road as potentially a
18 tracer injection well, and about 60 feet downgradient we're
19 going to install in each of these locations a 1,000-foot
20 multiple screen monitor well very much like we saw just in
21 the previous slide. Nye County intends to at least have the
22 capability to do tracer tests at more than one location.
23 Currently tests are only being conducted at the ATC location.
24 Nye County has proposed for future work that perhaps we
25 could do some tracer tests at other locations in the

1 Fortymile Wash.

2 Next slide, please.

3 This is a typical piezometer. It's a dual
4 completion piezometer. We are interested in vadose zone,
5 too. Mainly we are interested in characterizing bulk
6 permeability, bulk air permeability, so we plan to install
7 some air piezometers and do some monitoring. Again, we're
8 interested in the layering. We feel that a vadose zone can
9 supply a little bit of information and might be useful that
10 we could transfer it to the saturated zone. And again,
11 looking at the atmospheric barometric pressure wave we can
12 back out bulk scale permeability, and we feel that the larger
13 the scale of the estimate probably the more useful the data
14 is.

15 Next slide, please.

16 This just summarizes the types of the wells we just
17 talked about. We have basically two types of wells we're
18 going to be drilling, multiple-screen monitor wells and the
19 dual completion piezometers. Piezometers are limited because
20 of our limited budget. Those are only at the upgradient
21 locations.

22 Next slide, please.

23 Our objectives for both the piezometers and the
24 monitor wells are to design them and to construct them in a
25 manner to support tracer tests. We feel that obtaining the

1 hydraulic and the transport parameters from tracer tests are
2 extremely valuable. We also liked both of these well types
3 since they're located at the upgradient locations, they're
4 located close to each other. It would be nice to collect
5 representative drill cuttings from each and look at the
6 correlation of different layers between different holes, and
7 also where possible we'd like to obtain in situ density data
8 where possible, bulk density data.

9 In addition to that, the monitor wells must be
10 straight and must be stable, so if we wanted to put in our
11 retrievable instrumentation system.

12 Next slide, please.

13 The monitor wells we can't good samples from
14 monitor wells and we also can't drill a hole at the same
15 time, so we really have to use two different drilling methods
16 to get the samples. We're using dual wall reverse
17 circulation, and to get the straight hole we're using the
18 flooded mud method. And to the piezometers we're using a
19 casing-advance air-percussion hammer method. We get
20 excellent drill cuttings in these cases and this particular
21 method allows us also to get core samples.

22 We don't have the time to go into the details of
23 these methods, but we feel that these are--we've thought a
24 lot about them, we've had a lot of experience in the past
25 with these different methods, and we feel this is probably

1 the right approach to go about our drilling.

2 Next slide, please.

3 Basically, our drill cutting sampling and logging
4 and testing objectives are just primarily to maximize
5 information about textural layers. There's a whole bunch of
6 activities that we have undertaken to try to maximize the
7 information we can get from drill cuttings, and drill
8 cuttings aren't the best thing in the world and they aren't--
9 they're oftentimes contaminated, but with a lot of care you
10 can get a lot of good useful geologic information from them.
11 Again, I won't go into any of these in any detail, but some
12 of the methods we're taking are described in the backup
13 slides.

14 Next slide, please.

15 We're also attempting to get some core and
16 demonstrate that we can get core from both the unsaturated
17 zone and the saturated zone. We're going to demonstrate this
18 in the actual casing-advance drilling system in the
19 piezometers. We'll obtain core from the saturated zone where
20 well screens are potentially going to be located. Also,
21 we'll try to get core just generally from representative
22 units throughout the unsaturated zone also.

23 Again, this is primarily a feasibility study.

24 Again, it would be nice to have samples that haven't been
25 chewed up by the drilling bit that we could do some

1 laboratory tests on.

2 Next slide, please.

3 Now I'd like to get away with the preliminary stuff
4 and let's move towards talking about some of the results and
5 where we are in our program. Once again, these are the
6 locations, just keep in your mind the 22 location, the 10
7 location and the 18 location. The 22 and 10 are located
8 right along the channel, the existing channel, and Fortymile
9 Wash. And of course we have a couple holes down here at the
10 ATC side. And then we have over here (indicating) an area
11 that's more in the fractured rock area.

12 Next slide.

13 To date we've actually drilled the sampling holes--
14 we call these A-holes--at the ATC side, which is the IM1, IM2
15 at the ATC side. This is the same location where the monitor
16 wells are actually being installed, and also at the 10 and
17 the 22 location we drilled exploratory boreholes, got good
18 cuttings back, and some of the results we'll show here in a
19 little bit.

20 In addition to that, we came back and we abandoned
21 these holes and we came back and actually drilled the IM1
22 hole with the flooded mud system for a multiple-screen
23 monitor well, and we actually have drilled and are completing
24 also IM2. We're in the process of just starting the first
25 piezometer hole. In short, we've made some good progress

1 over the last couple months.

2 Let's move on, next slide, and look at some of the
3 results. Want to look at some of the drill cuttings, but
4 before we look at drill cuttings, we just want to--I'm sorry,
5 I want to talk about some of the actual data we're going to
6 talk about here. Particle size distribution of depth
7 profiles, cementation HCL reaction depth profiles, and
8 electrical conductivity, and this is a 1:1 water extract to
9 look at soluble salts. We don't have data back yet on silt
10 and clay percentages. The particle size distribution we're
11 going to talk about is just a very gross particle size
12 distribution. We'll show you the data here, and we haven't
13 had a chance yet to process in situ bulk density data.

14 Next slide, please.

15 Just a word of caution about drill cuttings. We
16 all know there's a well of possible errors in drilling that
17 could create some misinterpretation of drill cuttings. I
18 won't even go into each of those. But basically, if you're
19 careful, drill cuttings can be of use to identify major
20 trends within and between boreholes and to provide indication
21 of the thickness and textural variation between layers.

22 Next slide, please.

23 This is a graph of the depth profile of drill
24 cuttings from the two boreholes at the ATC site. These were
25 two exploratory holes that were drilled and abandoned. The

1 yellow is the first hole that we drilled, the 1A location,
2 and the blue is the 2A location. What we're plotting here is
3 percent passing in two different sieves, a 200 sieve here and
4 a No. 4 sieve here, and simply, to the left of these lines
5 translates into the amount of fine silt plus clay, between
6 these two lines is the amount of sand, and to the right of
7 these lines is our gravel. There are some general trends you
8 can see with depth. The water table is right here
9 (indicating). That is generally increasing fines and a
10 general decreasing amount of gravel with depth. There are
11 some correlations to some extent at different points. Here
12 we have a higher amount of fines (indicating) at this
13 location, and as you go down further, there seems to be some
14 shifting of the peaks. There does appear to be some
15 correlation between--these holes are located about 60 feet
16 apart and this data was just plotted last week, we haven't
17 had a chance to analyze it in any depth, but there does
18 appear to be a little correlation, some continuity, in some
19 of the layers over 60 feet.

20 I want to emphasize that the differences may in
21 part be due to slightly different drilling methods. I know
22 the first hole we drilled primarily dry and there was some
23 caving and there's some mixing of the samples, and the second
24 hole the upper portion of the hole was conditioned a little
25 better and we probably had less contamination from up hole

1 locations.

2 Next slide, please.

3 This is the data from up the hill a little bit from
4 the 10 location and the 22 location. By the way, these
5 samples were taken on 5-foot intervals. The 22 location the
6 lab just did at 20-foot intervals. We haven't got the lab
7 data back. Again, this was just plotted last week. There
8 are some similarities in these two plots, the previous plot
9 and this plot. Again, there's a generally increasing trend
10 of fines with depth. There seems to be a fairly thick--and
11 previously we haven't seen this, there's a strong variation
12 as you go from 5-foot. Between 5-foot layers you have maybe
13 10, sometimes even 20, 15, 20 percent variation between 5-
14 foot intervals of the amount of finds and also the amount of
15 gravel in the sample, which suggests there aren't thick
16 layers of gravel and they aren't really thick layers of finer
17 material, either. However, in the lower portion of the hole
18 there's some indication that there's relatively thick layers
19 of fine units in the lower portion of the hole. We get
20 virtually no gravel.

21 Next slide, please.

22 This slide is a slide that was put in to
23 demonstrate a comparison of lab versus field. We do do field
24 logging and we attempt to estimate the amount of fines, the
25 amount of sand, the amount of gravel. This shows a

1 relatively good correlation between field estimates and
2 laboratory measurements. I made a mistake in this slide, I
3 really meant to plot--we actually in the vadose zone we
4 actually measure on 2.5-foot intervals and we actually
5 estimate fines, we actually log the sample on 2.5-foot
6 intervals in the vadose zone, and I wanted to demonstrate
7 that. This slide does not show that, it's still on 5-foot
8 intervals, but basically the slide that I had in mind does
9 show a variation of 10 to 15 percent fines and 15 to 20
10 percent gravel with every 2.5-foot interval, basically.

11 Next slide, please.

12 It's always informative to compare with other
13 locations. There is a lot of work on a test site that has
14 been done in Frenchman Flat, there were holes that were
15 drilled by casing-advance method to 1,000 feet, drill
16 cuttings were sampled and also core samples were taken.

17 And how are we doing for time?

18 DR. WONG: Oh, sorry. Well, you've got 12 minutes.

19 DR. HAMMERMEISTER: Let's skip a few slides in a minute
20 here. But basically these are--we can go back to this if we
21 have time, but there is data on a test site. Frenchman Flat
22 is also filled with volcanic sediments and it's always nice,
23 it's always informative and we can learn a lot by comparing
24 with other previous work that's been done.

25 At any rate, can we skip ahead about two or three

1 slides, please? Let's go through these. Some conclusions
2 about some of the preliminary data that we found. We
3 generally have generally increasing fines and decreasing
4 gravel with depth in each of the boreholes that we've drilled
5 so far. Fine percentages average about 14 percent in the
6 hole by the ATC complex up to about 21 percent in the two
7 holes located up the hill a little bit. I think it's
8 important that we don't see any thick fine texture layers
9 except in the lower portions of 22 and possibly 10, and we do
10 see a large variation in particle size fractions on 2.5-foot
11 intervals.

12 Next slide, please.

13 And finally, we do see some correlation between
14 layers in closely spaced wells, the 1A and 2A well at the ATC
15 complex. And this refers to Frenchman Flat and we're going
16 to skip these slides so we can stay on schedule.

17 Next slide, please.

18 We also, besides doing laboratory tests and
19 besides--our logging consists of a lot of detailed
20 description and we tend to geologically describe the samples
21 in great detail in the field, and part of the logging
22 involves visual estimates of cementation. And in the lab
23 also we do a simple 1:1--I'm sorry, in the field we also
24 squirt some HCL on the sample to look for presence of calcium
25 carbonate as a cementing agent. In the lab, a very simple

1 measurement is a simple 1:1 water extract of the sample.

2 I'd like to show the next slide, please. This
3 simply shows, again, a field logging description of depth
4 profile of Well 22. And what we see here is when we see some
5 weak cementation, this is typical of most wells, in the upper
6 100 feet, 150 feet we see some weak cementation, and the only
7 well we see moderate or strong cementation is in 22. If you
8 look over here (indicating), this is the ACL reaction.
9 There's some correlation between cementation and ACL
10 reactions suggesting that maybe calcium carbonate at least
11 plays some part in cementation.

12 Next slide, please.

13 This is the EC profile of the two wells that are
14 located at the ATC site. Notice that this is a water extract
15 electrical conductivity and the peaks more or less match up
16 in each case and for both holes the majority of the peaks
17 actually lie on top of each other.

18 Next slide.

19 For the two holes located upgradient we see a
20 decrease in electrical conductivity and of course we don't
21 expect the peaks to line up, these wells are separated by
22 several thousand feet.

23 Next slide. I'm sorry, several miles.

24 Some conclusions about cementation and electrical
25 conductivity. We do see some weak cementation in all

1 boreholes, like I said. There is some moderate cementation
2 in Well 22, and there's a good correlation between EC in
3 Wells 19 1A and 2A, and the EC peaks and valleys may reflect
4 a whole bunch of things. They may be due to periodic salt
5 accumulation during sediment deposition and/or periodic
6 infiltration events not great enough to flush the profile of
7 soluble salts.

8 Next slide, please.

9 I'd like now to turn to a preliminary cross-section
10 done along Lower Fortymile Wash that has been put together by
11 Jamie Walker. Incorporates borehole data from the deep Well
12 2DB and the shallower Wells 19D, 22SA and 10SA and
13 incorporates the U.S. Geological Survey regional geologic
14 framework units in the northern portion of the section.

15 Next slide, please.

16 This cross-section is shown in the back of the
17 room, it's actually printed out. I apologize, when Jamie put
18 this cross-section together for me, I forgot to mention that
19 I wanted one to be able to put it on a PowerPoint slide, so
20 this is not his best work, it's not his fault, it's my fault.
21 But basically the cross-section goes from 2DB to 19 to 22 to
22 10 at this location right here. Some basic overall trends in
23 the cross-section, we go from a volcanic faces to a
24 sedimentary faces over here (indicating). There's a lot of
25 uncertainties. These wells are, as you can see, separated by

1 more than two miles. We really don't know what--this is the
2 alluvium layer right here (indicating) the QAL. There may be
3 a lower conglomerate unit in the base of the alluvium, we're
4 not sure. The actual tuff unit is probably the Paintbrush
5 tuff, but the actual unit has not been identified. And I
6 should also point out that this long section is only
7 intersected two major possible structural features, Highway
8 95 fault, which is inferred from surface geophysics, and a
9 major lineament at this point right here (indicating). So
10 these are the only two major structural features that have
11 been intersected. There is a major point here, there's a lot
12 of uncertainty.

13 Next slide, please.

14 DR. WONG: Five minutes.

15 DR. HAMMERMEISTER: Five minutes, thanks. Next slide,
16 please.

17 I just went over this just now, I won't repeat
18 this. We would like to go back and drill some deeper holes.
19 We have a limited budget this year. We had to terminate our
20 holes at roughly 1,000 feet, and in future years we'd like to
21 go back, propose additional wells. In future years, we
22 propose the Department of Energy would like to continue our
23 drilling program. And this looks like a scatter diagram of
24 proposed wells, but basically the proposed wells are the
25 black and the bull's eyes. The black hexagons are a

1 combination of wells that could be either exploratory wells
2 or they can be completed as a monitor well or piezometer well
3 depending upon what we'd find. The bull's eyes are the
4 combination monitor wells/piezometer wells that we talked
5 about at the 22, 10 and 18 locations previously.

6 Some of the rationale for these holes, we'd like to
7 learn more about the alluvial flow path along the main access
8 of Fortymile Wash. These holes would help us with that.
9 We'd like to look a little bit deeper. We'd like to look at
10 the crater potential of volcanic fractured rock flow path
11 over in Crater Flat. These wells would address that
12 particular issue. We're interested in the flux boundary for
13 the site-scale model, trying to get a better handle on that
14 flux boundary. I think Tom mentioned that the last time he
15 talked to the Board. These wells would help with that. We
16 have a line of wells we'd like to deepen along the Highway 95
17 road in the actual fault. Very little is known about the
18 fault and we'd like to look a lot more closely at the
19 transition into this basin. And finally, we have a second
20 fence of wells down here, further down toward potential
21 receptors in Amargosa, and again, to try to get a better
22 handle on flow paths closer to actual receptors.

23 Next slide, please. Next slide.

24 I'd like to spend just a minute and update you
25 about our ventilation activities that are going on. Parvis

1 Montazer has been doing this work. Quickly summarize some of
2 the background, past work, some of your present work and some
3 proposed work.

4 Next slide.

5 DOE models do predict high temperatures and
6 humidity after backfill and closure, and that of course
7 results from Nye County's perspective in increased
8 uncertainty and corrosion flow and transport simulation,
9 performance assessment and safety demonstrations. And
10 primarily Nye County is primarily interested in performance
11 assessment and safety demonstrations. Every since 1995 Nye
12 County has studied natural ventilation as a means to lower
13 temperatures and humidity and reduce some of this
14 uncertainty. So this has been going on since 1995.

15 Next slide, please.

16 Some of the previous work that was done, Nye County
17 did conduct some monitoring in the ESF and the ECRB during
18 the actual drilling, hung instrumentation on the back of the
19 actual tunnel boring machine, and collected a large amount of
20 temperature and pressure and wind speed data and concluded
21 that ventilation clearly can remove a lot of heat and a lot
22 of vapor from the system. Parvis Montazer is also a mining
23 engineer, has a mining engineering background and has a
24 considerable amount of experience in that area.

25 We also did some preliminary modeling of highly

1 simplified repository with ventilation shafts, and the
2 results indicated that natural ventilation can keep host rock
3 relatively cool and dry for the first 1,000 years when we
4 think it's supposed to heat up. And this is assuming we can
5 keep the repository open.

6 Next slide.

7 This is just a summary of some of that modeling.
8 The simplified axisymmetric modeling was completed in 1996.
9 The simplified three-dimensional site-scale modeling was
10 completed in 1998. Results have been presented in Nye County
11 Annual Reports and a ventilation workshop in 1998 which DOE
12 helped co-sponsor with Nye County. The code A-TOUGH is used
13 to simulate heat and vapor flow both in rock and in tunnels
14 and shafts, so basically DOE uses two codes, one for the rock
15 and one for the ventilation. Important to note is the heat
16 and vapor transfer between the rock and the actual
17 ventilation system is accomplished by using a transfer
18 coefficient called eddy diffusivity. And eddy diffusivity,
19 of course, is highly dependent upon temperature and other
20 variables. Eddy diffusivity was actually calculated by Nye
21 County. Both these modeling methods suggested a much cooler
22 and much drier repository could be achieved.

23 Next slide.

24 We have some ongoing work right now. We are
25 attempting to identify a more realistic range of design

1 parameters for a natural ventilated repository and develop a
2 more realistic conceptual model and a mesh, a model mesh, and
3 at the same time refine the estimates of this important
4 transfer coefficient, eddy diffusivity, and then conduct
5 simulations to demonstrate this more realistic natural
6 ventilation design. And we would like to come back and
7 present these results to the WTRB in January of this coming
8 year.

9 Next slide.

10 Also what's going on right now, and this is not
11 funded by Nye County, it's actually funded by DOE through
12 UNR, there's a co-comparison of A-TOUGH versus MULTIFLUX plus
13 NUFT. And there is a large difference in the temperature
14 predictions between these two models, and some preliminary
15 discussion and preliminary work suggests that it's possibly
16 due to differences in the heat and vapor transfer
17 coefficients used, among other things.

18 Next slide.

19 This is probably the most important slide of the
20 day. Nye County believes that DOE and also Nye County--let
21 me start again. Heat and vapor processes in rock are being
22 validated in the ESF. In ELK05, heat and vapor flow
23 processes in the tunnel, ventilation systems are being
24 validated at this facility, but as yet these two processes
25 have not been coupled together. The rock, processes in the

1 rock, and the processes in the ventilation system have not
2 been coupled together and models have not been validated,
3 including Nye County's model.

4 Next slide.

5 Nye County proposes a low-temperature
6 heater/ventilation experiment in the repository, a block to
7 actually measure the necessary parameters, both in the rock
8 and in the actual tunnel ventilation system, and to actually
9 validate their model and the data would also be available to
10 the Department of Energy. Once that was done, if you were
11 able to validate the model, the model would be used to
12 hopefully reduce some uncertainties, possibly reduce
13 footprint size and possibly reduce costs.

14 Thanks for your time. Questions?

15 DR. WONG: Thank you, Dale. Questions from the Board?
16 Dr. Parizek.

17 DR. PARIZEK: Parizek, Board. You mentioned about the
18 geophysics proposal. It seemed like at one point you had an
19 opportunity to maybe develop some geophysical work in order
20 to guide the placement of some of the drill sites. Is there
21 anything going on in that area?

22 DR. HAMMERMEISTER: Yes, there is. We have proposed--
23 have not shown, of course, proposed future work, some
24 detailed future work. And the Department of Energy has
25 approved a significant surface geophysical program in the

1 order of--anyway, it's a lot of money and it allows us to do
2 some deep seismic work, so it's really some--all the
3 necessary geophysical work that we had proposed DOE has
4 tentatively approved some funds in the coming years.

5 DR. PARIZEK: That would be sometime in Fiscal Year 03?

6 DR. HAMMERMEISTER: Yes, 03 and 04.

7 DR. PARIZEK: Were there any temperature surprises in
8 the drilling you've done to date? By surprise I mean
9 anything that was abnormally either cool or warm based on
10 other holes that already had been drilled in Phase I and II.

11 DR. HAMMERMEISTER: No, the most recent round of
12 drilling was very shallow. We had a limited budget this
13 particular phase and really couldn't afford to go deep. So
14 no, we didn't come across any temperature anomalies.

15 DR. PARIZEK: EDWDP 18 is fractured, I guess, one of the
16 first bedrock sites you have for--

17 DR. HAMMERMEISTER: It has some shallow alluvium we
18 think.

19 DR. PARIZEK: But eventually you hope to hit some fault
20 zones? Would that be the first place that maybe some fault
21 permeability data could come out in terms of going in an
22 orderly direction closer to the footprint of the repository?

23 DR. HAMMERMEISTER: Yes, yes.

24 DR. PARIZEK: That's to be drilled this year?

25 DR. HAMMERMEISTER: Yes, it is.

1 DR. PARIZEK: Thank you.

2 DR. WONG: Dr. Knopman.

3 DR. KNOPMAN: On one of your very last slides, 45, where
4 you just talk about the comparison of computer codes, perhaps
5 you could just explain a little bit more what you think you
6 might find from this comparison and what difference does it
7 make if the codes changed. And then I'm not sure if Bill
8 Boyle is still here, but perhaps someone from the project
9 could respond to this work and say something about the kinds
10 of code comparisons or conceptual model comparisons that have
11 been made within the program so far on this point. It's
12 really important.

13 DR. HAMMERMEISTER: Yes, I'd really like Parvis Montazer
14 to come up and address that, if you would.

15 MR. MONTAZER: Parvis Montazer. This work has been
16 funded I guess as part of the workshop that we had in
17 December 1998, a Nye County and DOE sponsored workshop,
18 resulted in doing this code comparison because of the
19 differences in the predictions. And I have been working just
20 basically this year with Dr. Danko on making this
21 reconciliation as far as the differences. And what we are
22 hoping to find here is--there are some basic differences that
23 the way we are doing this in relationship. The AT2VOC is a
24 simplified version of the ventilation process, but it's fully
25 coupled. What Dr. Danko uses and other codes in the project,

1 MULTIFLEX is, what Dr. Danko has been using, is an externally
2 coupled code with NUFT. It's more complicated, more
3 sophisticated in simulating the process in the drip, but it's
4 externally coupled with NUFT. And that's where we see the
5 differences. And the main difference--and we're both making
6 this assumption incorrectly--is in the transfer correlations.
7 ATOUGH allows us to do the variation with time and the
8 conditions, but in all of our previous simulations we have
9 used one eddy diffusivity number that we obtained from
10 calibration of the code to the tunnel conditions. Basically,
11 Dale mentioned some of the early data that we got by putting
12 up instrumentation at the end of the GBM. We use that to
13 calibrate and we got one number for eddy diffusivity, and we
14 have used that to simulate a long range of temperature and
15 pressure in time. And that has resulted in overestimating
16 heat and moisture removal.

17 On the other hand, the MULTIFLUX and NUFT external
18 couple simulation, they're using the standard transfer
19 coefficients, and they're constant, too, but they're at the
20 other extreme end. So somewhere in between this whole
21 process of what Dale was talking about as far as our proposed
22 work, we want to see what are the range of changes in the
23 transfer coefficients at different temperature and moisture
24 conditions of the rock and velocity of the ventilation.

25 So I don't know if I answered that question, it was

1 long winded.

2 DR. KNOPMAN: That sounds more like a parameter
3 estimation issue than a model discrimination problem.

4 MR. MONTAZER: That is more or less correct. There have
5 been questions, but we more or less knew NUFT and TOUGH, they
6 use the same kind of equations. They're very much the same,
7 do the same thing.

8 DR. KNOPMAN: Okay.

9 MR. MONTAZER: And so do MULTIFLUX and the eddy
10 diffusivity concept. They use similar kind of processes. So
11 we didn't expect to have to be surprised by the differences,
12 and it's basically boiling down to the fact that the
13 parameters that we've been using--there's a dynamic parameter
14 we've been using as a constant parameter.

15 DR. WONG: Okay, we must move along. Thank you, Dale.

16 DR. KNOPMAN: Jeff, could someone from the Program just
17 very quickly respond; do we have time?

18 MR. BLINK: Jim Blink, Livermore. We are also doing a
19 code comparison of ventilation calculations. The Project
20 baseline has used the ANSYS conduction only code in the rock
21 with a post processor using the spreadsheet for the evolution
22 of the temperature in the airstream. We've been comparing
23 that to the results of the MULTIFLUX code. The MULTIFLUX
24 code developed by Reno has been added to the Projects suite
25 of codes, and that code has a more complete coupling between

1 the air and the rock and keeps track of the mass transport in
2 the rock, which ANSYS is not able to do. We see some
3 differences and we're currently working our way through
4 trying to isolate the specific causes of the differences, but
5 in our case it may be more conceptual and model related than
6 parameter related.

7 DR. WONG: Thank you. Okay, our next speaker is Linda
8 Lehman. She's president of Linda Lehman & Associates. She's
9 a hydrogeologist by trade, and she's made many presentations
10 before the Board and she's provided scientific support to the
11 State of Nevada's High-Level Waste Review Program.

12 MS. LEHMAN: Thank you. Is that working? Hopefully. I
13 don't know if this is going to work on me.

14 Thank you very much for the opportunity to present
15 some of the latest results that we have on our efforts to
16 calibrate a larger area model. The last time I spoke to the
17 Board, several years ago, we were working on a smaller area,
18 which involved mainly just the mountain, and now we've
19 expanded the three-dimensional model to go all the way down
20 to the Amargosa.

21 I'm first going to give an introduction and then
22 talk about the conceptual model, our calibration targets, the
23 model gridding and boundary conditions, and then discuss the
24 results and some conclusions. I'd like to try to spend about
25 ten minutes on the first few items and then another ten

1 minutes on the results.

2 This should be considered a work in progress as
3 opposed to a final product, and we shouldn't think of this
4 model as an exact replica of Yucca Mountain but rather as a
5 learning tool to study the flow and transport mechanisms at
6 the site.

7 In the draft EIS, the Department of Energy
8 indicated that this flow model was a credible flow model, but
9 they did not look at it in detail because they claim that as
10 long as they have a waste package that lasts for over 10,000
11 years, or the compliance period, then there was no need to
12 look at this particular model. And while that might be true,
13 if the package is robust and we have no package failures over
14 the first 10,000 years, then perhaps the role of a saturated
15 zone is diminished.

16 But if in fact we do have premature failures--and
17 like Dr. Sagüés says, what if some of the science is wrong,
18 even a small probability, then you have package failures
19 within the compliance period, then the saturated zone pathway
20 does become important and it also becomes important for
21 calculations out beyond the compliance period, for example
22 the peak dose calculation that's being done and the
23 Environmental Impact Statement.

24 So basically we have a number of concerns related
25 to the DOE work, and basically we're concerned that DOE is

1 proceeding with site recommendation: without demonstrating
2 that they have an understanding of the saturated zone;
3 without conducting uncertainty and sensitivity analyses of
4 this particular flow model or a flow model through the
5 mountain, fracture flow; without utilizing all available and
6 relevant data that had led to their site recommendation, and
7 by this I mean primarily the heat information; they have not
8 demonstrated that their flow model can match the detailed
9 potentiometric surface that we see in the data, nor have they
10 demonstrated that they can match the ambient temperature
11 distribution; and further, they have not utilized a fully
12 coupled heat and flow formulation in their model to determine
13 their flow paths.

14 For calibration targets we're using the
15 potentiometric surface that was developed from USGS data, not
16 the USGS potentiometric surface. And I'll show these
17 differences later. We're using the temperature distribution
18 at the water table of Sass, 1988, and also using the heat
19 flux at the water table that was done by Sass, 1988 also.

20 I've talked to the Board on several occasions about
21 the USGS data. As you know, they did go back and recalibrate
22 their wells using temperature corrections and releveling
23 surveys and corrected the water level data. However, when
24 they came out with their revised surface, which is shown
25 here, they did not believe their data or chose not to use all

1 of their data in this map. What I have here is their smooth
2 potentiometric surface--this is, of course, the mountain and
3 the repository site--and you can see that there are some
4 mistakes in their contouring. Basically, they have smoothed
5 these surfaces, and this is different from their preliminary
6 map that they had published earlier.

7 We took their data, used all of their data,
8 replotted the potentiometric surface, and came up with this
9 picture of embayments, where you say there's basically three
10 embayments. This is a 730-meter contour line. And you see
11 these little embayments are lined up with Drill Hole Wash
12 Fault, Sundance Fault, and a fault that runs below the
13 repository. You can see the repository outline here
14 (indicating).

15 This is the potentiometric surface that was
16 generated by the U.S. Nuclear Regulatory Commission, Neil
17 Coleman, and he was kind enough to give me this overhead. He
18 also sees the embayments. This is in the 729-meter contour
19 line.

20 One thing that I do want to point out is that there
21 really are no data points down here (indicating) until you
22 get to the Nye County wells. And this area is important, I
23 believe, in determining which flow model is correct.

24 The Sass temperature distribution is shown here.
25 And what I want to point out to you is there's a linearity in

1 these temperature measurements that's important. This is
2 Fortymile Wash. You see cold plume of water moving down here
3 (indicating), this is Midway Valley, you have warm water
4 here, Ghost Dance Fault you have a cold plume, and Solitario
5 Canyon you have warm water again. So cold, hot, cold, hot,
6 basically, across the site.

7 The heat flux information that was calculated by
8 Sass--and he concludes that this negative heat flow is from
9 recharge of groundwater, and this area here, these squares or
10 rectangles (indicating), represent the steep hydraulic
11 gradient. And in an area that's coincident with Drill Hole
12 Wash and its intersection with Ghost Dance Fault, you see
13 this very negative heat flux area, smoothing out more over
14 the mountain and then becoming more normal away from the
15 mountain. I've also just for your information plotted our
16 potentiometric surface here in the dots on that to show you
17 that the heat flux also seems to be coincident with the Drill
18 Hole Wash, Sundance and other fault down here.

19 I'm going to talk briefly about gridding. First, I
20 wanted to say that our conceptual model is three-dimensional,
21 it uses coupled heat and flow, fully coupled heat and flow,
22 equations. We believe that the fracture is--I say fracture
23 flow model, it's not actually fracture flow, it's using
24 fractures to channel the flow, but it is an equivalent porous
25 media model. We feel that the fault zones play a major role,

1 as you saw from the surfaces that I presented earlier, that
2 there may be some connection. We also feel that the flow
3 field is transient, even though the results I'm going to show
4 you today are a steady state.

5 And Dave Diodato asked me to mention briefly about
6 the code. We are using AT2VOC, which Parvis Montazer just
7 mentioned about earlier. We are running fully coupled heat
8 and flow, but we're using single-phase flow, although the
9 code has capability of multi-phase flow. But because we're
10 dealing with temperatures that are ambient, we don't have the
11 need to have vapor phase in our calculations. It is
12 integrated finite difference code.

13 The model that we're using has three layers, upper
14 tuff aquifer, a middle confining unit, and the last layer is
15 the carbonates. We have about 3,030 nodes in each layer, so
16 we're pushing up against 10,000 nodes, which is about the
17 capability of our computer. In the past we had been using
18 the LBL version of V-TOUGH and we had to run it on a Cray at
19 UNLV and front end it with a cyber at the University of
20 Minnesota. And so when Parvis Montazer developed a code that
21 could be used on a PC, of course we jumped at the chance to
22 use that and we are using his post-processor and pre-
23 processor on this code. So Parvis has been helping us with
24 runs on this code.

25 The gridding is the same in layer one and layer two

1 pretty much. Basically what we have is a number of fault
2 zones. The one on the far right is Fortymile Wash. This one
3 (indicating) represents Midway Valley, this is the Ghost
4 Dance Fault and this is the Solitario Canyon Fault
5 (indicating), Drill Hole Wash, Sundance and the fault that I
6 showed you where the third embayment lies. All the faults
7 with the exception of the Solitario are more permeable than
8 the tuff. The Solitario Canyon Fault is impermeable, or much
9 more impermeable than a tuff.

10 As you'll see here in the cross-section, we have an
11 implied fault, which is the Highway 95 Fault, and below that
12 is alluvium. And we have not focused any effort on the
13 alluvium to date, but we will as you will see in future work.
14 Right now the alluvium is more permeable than the tuff and
15 it exists in both layers.

16 In terms of boundary conditions, our upper boundary
17 condition here is 1,000 meters of head, 29 degrees C water.
18 Our southeastern boundary is 725 meters of head and our
19 latest run 30 degrees water. The lower boundary, the
20 carbonates, is set up at the pressures and temperatures that
21 were found in P1. In other words, the whole bottom layer has
22 an upward head, so it's set at 750 meters, and the
23 temperature in most of these runs that you'll see is at 57
24 degrees, but in the later runs we've dropped it down to 50
25 degrees C. Fifty-seven was what they actually measured it in

1 P1.

2 These nodes on the side, these little black dots,
3 were put in there later because in our earlier modeling
4 efforts we found that we couldn't maintain the 775-meter head
5 that's west of the Solitario Canyon with simply this 1,000-
6 meter head up here. So we added these nodes to maintain the
7 775-meter head in that area.

8 Now, as you will see when I talk about temperature,
9 we're thinking about taking out some of these, perhaps the
10 lower ones, so that the contours will bend around a little
11 more and allow more water to come up. But I'll explain that
12 in more detail when we get to the results.

13 So now I will talk about the controls on the
14 potentiometric surface. This is one of our first modeling
15 results on a potentiometric surface, and we are able to get
16 the embayments in this model. However, you'll note that the
17 736 contour line is here rather than what we had wanted as
18 the 730-meter contour. So in order to adjust that, first let
19 me just mention that this tight unit up here controls the
20 steep hydraulic gradient and keeps these contour lines up.
21 So in order to get to the 730-meter contour, what we did was
22 to tighten the confining unit. And we wound up tightening it
23 six orders of magnitude to get a 6-meter head decrease. But
24 we're able to control that elevation through that confining
25 unit partially.

1 This set of results I wanted to show you because
2 we're changing the parameters, permeabilities in the Ghost
3 Dance Fault. In this particular run we were trying to adjust
4 temperatures along the fault, lower the temperature, so we
5 tried a number of things. In this particular run we have
6 made the vertical conductivity of the Ghost Dance Fault set
7 equal to the tuffs. Both horizontal conductivities were the
8 same, they are more permeable than the tuff. And basically
9 it had really no influence at all, we're still able to have
10 our three embayments.

11 So then we decided, what would happen if we took
12 the fault out entirely? So we just made it exactly the same
13 as the tuff, so there's no Ghost Dance Fault here, and what
14 you'll see is our steep gradient on the west side, our medium
15 hydraulic gradient, has disappeared. That was kind of a
16 surprise to us because we always felt that the Solitario
17 Canyon Fault was controlling the steep gradient there. In
18 actuality, what happens is because we have imposed basically
19 a north-south flow field, any impermeable fault here, the
20 flow just goes around it. If the flow were coming this way,
21 to the east, then that fault would have more effect. And
22 this is consistent with some findings of Ed Kwickless that it
23 depends on the position of the fault in the flow field as
24 well as the fault characteristics itself.

25 So basically what happened is this gradient was

1 moved over to the Midway Valley Fault. And what you see in
2 the one I just put up earlier is that the Ghost Dance Fault
3 is actually capturing all this water that's coming in, so
4 it's prohibiting the steep gradient from moving over.

5 Now I'll talk briefly about the controls on the
6 temperature field. If I can get this on here correctly. It
7 was fairly easy for us to get the potentiometric surface and
8 keep it where it should be. It's another matter entirely to
9 do the temperature and keep the potentiometric surface.

10 This is what happens without any adjustments over
11 what we did to the fault zones. And basically, the lower
12 boundary condition in the carbonate dominates everything. If
13 you have any permeability at all, even minor permeability
14 differences, between the faults and the tuffs and the
15 confining unit, then you're going to have heat coming up
16 these faults, and that's what this shows, is that the heat is
17 coming up.

18 So now the question, is how do you control the
19 temperature? And we found that there are several ways that
20 you can do it. You can add water in the faults to the north,
21 you could add infiltration along certain areas along the
22 faults, you can block all vertical communication with the
23 carbonates by just adjusting the vertical permeabilities, you
24 can adjust thermal conductivities. And one of the things
25 that was helpful is about a week or so ago at another meeting

1 I got to spend some time with Bill Arnold, and he says that
2 he's found now that the thermal conductivity in the tuff is
3 quite a bit less than it is in the--it's tighter, basically,
4 in the tuffs than it is in the carbonates. So the tuffs
5 would act basically as an insulating blanket, and that could
6 help to lower some of the temperatures as well.

7 Also, we can't assume that our lower boundary
8 condition is correct under Yucca Mountain. We have only two
9 data points, one from Nye County wells, which indicates that
10 the head is less over to the east of the mountain than what
11 we have in there, and also from what we have observed in the
12 temperature at the Solitario. I will mention again that
13 there may be some differences in the carbonates.

14 This is an example of what happens when you add
15 infiltration. This is 10 mm per year. Infiltration was
16 added only along Drill Hole Wash in this area and along the
17 Fortymile Wash in this area. And as you can see, it's
18 cooling somewhat, it cools the Midway Valley Fault, because
19 all this is connected, but not enough to bring it to a
20 temperature lower than the tuffs. And that's what we want,
21 is we want a temperature in the fault zones that's colder
22 than the tuffs, and we have not achieved that. This is Ghost
23 Dance. So it does not by itself cool the Ghost Dance
24 significantly.

25 This is the latest run that was done for us by

1 Parvis Montazer. And while we are not looking at the
2 alluvium, this is just blocked out, what he has done is
3 bypass these tight units in the top and just impose basically
4 1,000-meter head boundary condition at the top. And you can
5 see that it has cooled these faults considerably. Still not
6 enough. But we have cooler faults here and then the warm
7 upwelling in the southern part of the block. And we believe
8 there is upwelling along the Highway 95 Fault because the Nye
9 County temperature data indicates very high temperature water
10 at depth in this area.

11 So basically I think we need a lot more work to
12 see. We haven't tried adding infiltration and recharge here
13 from the north together. We haven't tried adjusting the
14 thermal conductivities. So it's going to be a balancing act,
15 but we really need to do this in order to constrain the
16 velocities. Because in a situation like this, these
17 velocities are really, really high because you have to dump a
18 lot of water in there to cool those fault zones down.
19 Perhaps thermal conductivity could constrain it to slower
20 velocities. A number of things could be done that need to be
21 examined.

22 First of all, I'll just say that our future work--
23 oh, one thing I wanted to mention that I did mention briefly
24 is that over here the Solitario Canyon doesn't even show up
25 here, and that's because of that high head boundary. If we

1 can move that boundary over, maybe we can get some hot
2 upwelling here. So that's something that we'll try.

3 Future work, we're going to start looking at the
4 alluvial properties and compare some of the temperatures with
5 work and models that Parvis has done earlier for Nye County.
6 We're going to explicitly add the Highway 95 Fault and
7 confining unit to the alluvium, which you heard Dale say that
8 the lower units were tighter, so I think we can justify
9 putting a confining unit into the alluvium as well. And look
10 at the thermal conductivity contrasts and evaluate some of
11 the boundary conditions. We also, thanks to Eric Smistad,
12 have acquired a copy of ITOUGH, and Eric was also so kind as
13 to pay Bo Bodvarsson for a few hours of his time so that he
14 can work with us on this as well. We'll use that to better
15 calibrate.

16 So in summary, we feel that some of the controls on
17 the potentiometric surface were in addition to the tight
18 permeability of the upper boundary, that the share zones do
19 play a role in the embayments, creating the embayments and
20 potentiometric surface, and that the high conductivity of the
21 north-south directed faults in a north-south flow field are
22 causing the tight gradient.

23 With respect to temperature, the head distribution
24 is important, the heat comes up through the fractures with
25 even a very minor Kv difference, and you have to balance the

1 recharge and infiltration versus the heat.

2 And that's it.

3 DR. WONG: Thank you. Questions from the Board? Dr.
4 Knopman.

5 DR. KNOPMAN: Knopman, Board. I didn't hear you say
6 anything about perched water as a possible explanation for
7 the steep hydraulic gradient. Could you say something about
8 that?

9 MS. LEHMAN: Well, I guess I don't know that that in
10 itself could cause it. My feeling about this is that this
11 is, to borrow Dave Cox's term, a cascading reservoir coming--
12 a cascade coming down. And you saw the heat flux there.
13 That to me indicates that that water is coming down as a
14 cascade, going into the water table there. I don't know how
15 the perched water would work. But if there were perched
16 water there, it would be, in my opinion, not letting that
17 water go down, and so you shouldn't see that depression. So
18 under the perched water you might expect, if these boundary
19 conditions are right, to see warmer temperatures rather than
20 colder.

21 DR. KNOPMAN: Do you have the capacity to model--you
22 could do something in your model to capture the perched water
23 phenomenon in a few cells?

24 MS. LEHMAN: Well, we don't have an unsaturated zone in
25 here right now, we're just running the saturated zone, so I'm

1 not really sure how we would look at that.

2 DR. WONG: Last question, Dr. Nelson?

3 DR. NELSON: Thanks. Nelson, Board. I recall in the
4 past talking with you about north-southness of flow as
5 opposed to the kick-off to the east that the Project's
6 putting forward. Do you have any comments on that? Are you
7 still a proponent of a north-south as opposed to a eastern
8 more flow field?

9 MS. LEHMAN: Absolutely. Under these conditions, I
10 think you can see that flow will come down these fault zones,
11 come moving down this way and then this way, through here.
12 And to me this is significant because the repository lies
13 pretty much in this general area right in here (indicating),
14 and with these gradients being as flat as they are, I think a
15 considerable amount of the repository area could drain into
16 the Ghost Dance Fault as opposed to being moving to the east.
17 I think the water from Drill Hole Wash probably bypasses the
18 repository and comes out there, and the same with Fortymile.
19 But this particular model shows that only down here does
20 this flow come out over to Fortymile. So I still believe
21 that it's mostly north-south.

22 DR. NELSON: Can you give me an idea just how much more
23 travel you would expect in the tuff as opposed to what the
24 Project is thinking is in the tuff?

25 MS. LEHMAN: Well, this pretty much shows it here. It

1 would pretty much come down here (indicating), and if we get
2 these temperatures right, I'm sure that this would come out
3 in this area as opposed to in this area where everyone is
4 looking.

5 DR. NELSON: So you think it would stay in the rock a
6 whole lot longer?

7 MS. LEHMAN: Yes, I do.

8 DR. WONG: Dr. Parizek.

9 DR. PARIZEK: Parizek, Board. On your Figure 4, which
10 shows the embayments, that figure you've given to us before,
11 but you don't have any of your drill hole control on it based
12 on the basis for your contours with the embayments. It would
13 be helpful to have those control points added because in
14 Figure 3--

15 MS. LEHMAN: Oh. They're the same as the one on the
16 USGS picture.

17 DR. PARIZEK: So every control point showing in their
18 Figure 3 you use for yours?

19 MS. LEHMAN: Yeah, they're the same ones that are right
20 here (indicating).

21 DR. PARIZEK: Okay.

22 MS. LEHMAN: And the data that I used to contour it came
23 from their report and it's listed in the back of their report
24 as corrected data. But those are the points.

25 DR. PARIZEK: And then as you work with both the head

1 distribution as well as your temperature information you
2 can't ignore the chemistry. I know earlier on your chemistry
3 seems somewhat consistent with your flow field
4 interpretations. So you have to also track the chemistry
5 updates on your modeling efforts.

6 MS. LEHMAN: Yes.

7 DR. PARIZEK: And I guess so far there's nothing
8 inconsistent coming out of this model.

9 MS. LEHMAN: Right, I think it's consistent. You know,
10 Ed Kwickless found a flow path that came to the east, but it
11 was down by where this lower fracture zone is. It seems that
12 most of Zel's data, and Zel I believe is here, could say
13 something if he would--and I'll just put this up briefly--I
14 think Ed Kwickless did find a flow path that would come down
15 and come out over like this (indicating). There was a thesis
16 that Zel Peterman gave to me which looked at the flow around
17 the mountain, basically, and it looked like the flow was
18 coming down Fortymile and then down through Crater Flat, but
19 this area seemed to be rather isolated, which would be
20 consistent with this information, too.

21 DR. WONG: All right, thank you, Linda.

22 MS. LEHMAN: Thank you.

23 DR. WONG: That brings this part of the meeting to an
24 end. I'd like to thank all the speakers for their
25 information and presentations. I'd like to thank my

1 colleagues for my aggressive involvement today, and I'd like
2 to thank my colleague Paul Craig for being a most excellent
3 time cop.

4 And one last thing is Greg Gdowski wanted to say
5 something which he promised would only take 30 seconds.

6 MR. GDOWSKI: I just wanted to make a brief comment
7 about the chloride content of the water that we're using for
8 corrosion testing. Gerry Gordon on part of his presentation,
9 on page 4, showed much more elevated chloride contents than
10 were mentioned previously near 4 molar. And I also wanted to
11 mention that we are doing test under periodic drip conditions
12 where we allow the drips to evaporate the dryness, and so
13 we're going from very dilute solutions down to very
14 concentrated solutions, so that takes us through a range of
15 chloride contents.

16 DR. COHON: Thank you. And thank you, Jeff, for your
17 fine job as chair of today's sessions. We turn now to the
18 public comment period. Three people have signed up. Given
19 the lateness of the hour, I would ask each of you to limit
20 your remarks to eight minutes, and I will time you. And
21 we'll start with Judy Treichel.

22 MS. TREICHEL: Thank you. Judy Treichel, Nevada Nuclear
23 Waste Task Force. I wanted to comment about something that
24 came up a couple of times today, the first time during the
25 EPA presentation, in which it was stated that the 10,000

1 years was critical to licensing and was sort of tied into
2 legalities, and anything that had to do with those 10,000
3 years from the time the repository opened was part of the
4 legal requirement that DOE had and also licensing but
5 anything after 10,000 years was just information. And that's
6 part of the reason that the Task Force is one of the groups
7 that's involved in a lawsuit suing EPA about that standard,
8 because we don't believe that it should cut off in fact there
9 are going to be significant doses after 10,000 years, and it
10 certainly appears that there would be.

11 The other very important time when the idea of
12 legality came up was when there was a conversation going on
13 when Carol Hanlon did Tim Sullivan's presentation, and when
14 Lake was explaining that, you know, according to the lawyers
15 you should probably just tell them what you need to say and
16 nothing else. And it seems to me that that's a very clear
17 way of saying it's sort of an "us and them" game and we're
18 sort of pitted adversaries. And also, when Rob Howard was
19 saying that you probably shouldn't believe anything when he
20 listed the seven entities that are still working on the waste
21 package. And of course the Board has absolutely nothing to
22 do with when the Department of Energy decides to go into site
23 recommendation, unless of course you're asked, and then I
24 would certainly urge you to say that perhaps they're not
25 ready. But it does seem that, you know, once again Lake

1 mentioned that they were working on ways to better
2 communicate with the public. And if you're being told to
3 question everything and the public is being told to believe
4 everything, it's a real difficult sort of thing.

5 And I think we've just seen an example of how the
6 disconnect works, and I guess I, for one, would hope that the
7 other hearings don't get rescheduled right away. I don't
8 think we're ready for those hearings because if in fact there
9 are other reports coming out and--I can't remember--there are
10 supposed to be subsequent documents coming out that would
11 either better explain or would explain further work that's
12 not yet out there that could make the site recommendation
13 very different from what it is, or it certainly could add to
14 the understanding, then I believe that we should wait to see
15 this. And I guess I wouldn't go along with the idea that we
16 have competing goods.

17 Thank you.

18 DR. COHON: Thank you. Sally Devlin. Is Sally still
19 here? I don't see her. John Kessler.

20 MR. KESSLER: I want to talk about one of Alberto's
21 questions earlier. What if we're wrong about container
22 corrosion, just as an example. Well, you know, obviously we
23 could be wrong, but we will probably be wrong on some things,
24 certainly. As DOE goes through this, these are projections
25 over long periods of time, they'll probably be wrong about

1 something. The question is, will they be very wrong about a
2 lot of things?

3 So let's just say that they're very wrong as you
4 try to get them to work on, Alberto, specifically about
5 whether the containers will actually behave as they are
6 projected to. You made a comment that, you know, gee, the
7 doses are going to come, you know, pretty close to this 15
8 mrem per year limit if that's the case. I'm coming at it
9 from that makes me feel good, even better about the site
10 knowing that even if the majority of the containers fail,
11 we're still at something like 15 mrem per year, and that to
12 me is a powerful statement in favor of the fact that this
13 site is actually contributing something, it's not all just
14 the container. So it makes me feel that the site may be
15 pretty suitable, just thinking about it from that limited
16 perspective.

17 But then you think, well, what else should we be
18 thinking about here in terms of, you know, what if we're
19 wrong, we don't know what we don't know, those kinds of
20 things. I kept thinking for a while, gee, there's really no
21 good way to answer that question "we don't know what we don't
22 know". And I thought some more and I thought well, there are
23 some things the system is doing to help us out here, the
24 system being, you know, DOE's approach to their safety case,
25 what we have for regulations. For example, NRC is asking for

1 multiple barriers. Right now DOE in their PSSE is showing
2 nine barriers, they're providing nine. NRC just asked for
3 two, DOE is providing nine. I think that's comforting to
4 know that the waste package is just one of those nine and
5 that there's another eight out there, all of which have to be
6 defended, all of which they could potentially be wrong, but I
7 feel the fact that there's nine of them out there and that I
8 feel like they're probably not going to be really wrong on a
9 whole bunch of them gives me some additional confidence.

10 Another aspect is that the current analyses do show
11 margin. That's another way of making me feel that, you know,
12 that this site is probably okay.

13 I would still argue that on the whole the DOE
14 analyses are generally conservative. There are some
15 optimisms, perhaps waste package design or the analyses is an
16 optimism, we don't know. Certainly that work should continue
17 to explore that. But I would still argue that on the whole,
18 looking at everything, that they've still got a generally
19 conservative analysis and are being relatively cautious about
20 some things they don't know and tend toward a more bounding
21 approach. So that makes me feel a little bit more
22 comfortable, too.

23 The EPA regulation itself, that's 15 mrem per year.
24 That's something like 1/20th of the natural background of
25 citizens living in the Amargosa Valley region per year. So

1 that's another comforting thing to know that EPA has provided
2 that kind of a regulation that's a fraction of background, be
3 it 15, 25, whatever. In addition, the 15 is to the
4 reasonably maximally exposed individual. It's not to
5 everybody out there but it's to this reasonably maximally
6 exposed individual.

7 So all these analyses that you've been presented
8 with are for this RMEI at some fraction of natural
9 background. So that's another way of, you know, looking at
10 this thing. And by all means uncertainties should be shown.
11 You know, I'm talking about a mean value here, I appreciate
12 that. I think the comments that the Board has made about how
13 uncertainties might be presented and that some of the
14 uncertainty work that has been presented is another aspect of
15 this problem to shed light on it.

16 So I'll get back to the question about, you know,
17 will we really be wrong about a lot? And I would think that
18 perhaps here is where natural analogues could help to some
19 extent, knowing are we going to be really, really wrong about
20 a whole lot of things. In addition, DOE is committing to do
21 some long-term R and D, some of which we call performance
22 confirmation, another is general R and D, monitoring, things
23 like that. That should definitely continue.

24 So on the whole is there sufficient confidence in
25 Yucca Mountain to recommend the proceeding to license

1 application, this next stage that's not throwing away all
2 responsibility but just should we proceed to license
3 application? When we get to that stage, assuming that we do,
4 there's still going to be some people looking at that.
5 There's going to be a Nuclear Regulatory Commission that I've
6 seen DOE be very responsive to in terms of their concerns,
7 there's yourselves, you're not going away after this, and you
8 certainly ask a lot of good questions, and I've seen on the
9 whole DOE be pretty responsive or attempted to be pretty
10 responsive to what I consider a pretty good set of
11 recommendations from you. So it's not the end of the road.
12 I would guess that there's still--and in addition there's the
13 long-term R and D that will help with this, and then the
14 final thing is that DOE is ensuring with their design that it
15 is possible to reverse course and it is possible to retrieve.

16 So when I look at it for myself thinking, you know,
17 do we have all the answers, could we possibly be wrong about
18 things, we could possibly be wrong about some things. But
19 when I look at on the whole what we've got for regulation,
20 that there's nine potential barriers, just as an example of
21 the way they split them up, that we could have a long-term R
22 and D program, we've still got you, we've still got the NRC
23 to look at, I think that that gives me comfort knowing that
24 we might be wrong about a few things. Thank you.

25 DR. COHON: Thank you. Sally, did you want to come--

1 okay.

2 MS. DEVLIN: Three minutes.

3 DR. COHON: I will hold you to three minutes, how's
4 that?

5 MS. DEVLIN: Again, thank you so much for coming, it's
6 been very interesting and always a learning process. I just
7 want to say it's been a very difficult day with everything
8 going on and I think we've held together very well and we'll
9 all say our prayers tonight. But there is something I have
10 to add to all this, and that is I sincerely feel that you've
11 got to do more about my bugs with these metals and the
12 canisters and so on. And you really haven't done enough. I
13 hardly heard about my bugs this entire conference. And when
14 we talk of metallurgy and we talk of Alloy-22, and I love
15 Gerry's new thing with Josephinite. I love that. I read
16 your congressional thing and I thought that was fun.
17 Whatever it is, I hope it is something very nice.

18 So may I just say let's do some more research on
19 the bugs, because you will get full new reports on my bugs
20 when you get home. So I keep finding new ones and I hope
21 everybody out there keeps finding new ones and find out what
22 they do. And I have to say that because since Abe and I are
23 going to be together for 225 years, when you're burying these
24 20,000 canisters and God knows what from DOD and their
25 canisters and who knows what is in them, we've got to be

1 awfully careful, don't you agree?

2 But I do want to leave you with a thought, and it
3 brought back a memory and I think Russ will remember this,
4 nine years ago when we first met, when Dr. Cantlon was head
5 of the Board, and there was a question about what do you say
6 at Yucca Mountain to keep off the grass, you're not supposed
7 to come in? And when I was a little girl in Boston it said,
8 "Irish need not apply," and in Norfolk, Virginia, they said,
9 "No sailors or dogs." But of course in New York and Central
10 Park we were far more erudite and we said that no one say,
11 and say it to your shame, that all was beauty here until you
12 came. We did say that. And so I'm thinking how are you
13 going to get across to people in 5,000 languages "Keep off
14 the grass"? So that is your challenge for the next year, and
15 I think it's a taxing one, and is there an answer to this?
16 Is there a legal answer to this, what you have to say? No?
17 Well, we've got to work on it.

18 Thank you. Good night.

19 DR. COHON: Thank you, and thank you all for your
20 participation on this difficult day. A long day by the
21 agenda, but a day that felt even longer because of the
22 circumstances surrounding it. We stand adjourned. We
23 reconvene tomorrow morning at 8:00. Thank you.

24 (Whereupon, the meeting was adjourned, to reconvene
25 Wednesday, September 12, 2001, at 8:00 a.m.)