

UNITED STATES

NUCLEAR WASTE TECHNICAL REVIEW BOARD

SPRING MEETING

May 13, 2003

The Watergate Hotel  
2650 Virginia Avenue, N.W.  
Washington, DC 20037

NWTRB BOARD MEMBERS PRESENT

Dr. Mark Abkowitz  
Dr. Daniel B. Bullen  
Dr. Thure Cerling  
Dr. Norman Christensen  
Dr. Michael Corradini, Chairman, NWTRB  
Dr. Paul P. Craig, Session Chair  
Dr. David Duquette, Session Chair  
Dr. Ronald Latanision  
Dr. Priscilla P. Nelson  
Dr. Richard R. Parizek

SENIOR PROFESSIONAL STAFF

Dr. Carl Di Bella  
Dr. Daniel Fehringer  
Dr. Daniel Metlay  
Dr. Leon Reiter  
Dr. David Diodato  
Dr. John Pye

NWTRB STAFF

Dr. William D. Barnard, Executive Director  
Joyce Dory, Director of Administration  
Karyn Severson, Director, External Affairs  
Linda Hiatt, Management Analyst  
Linda Coultry, Management Assistant  
Davonya Barnes, Staff Assistant

CONSULTANT

Dr. William Melson

I N D E XPAGE NO.

<b>Call to Order and Introductory Statements</b>	
Michael Corradini, Chairman, Nuclear Waste Technical Review Board . . . . .	5
<b>Overview of Programmatic Developments</b>	
Margaret Chu, Director Office of Civilian Radioactive Waste Management Department of Energy (DOE) . . . . .	11
<b>Yucca Mountain Project Status</b>	
W. John Arthur III, Deputy Director for Repository Development Office of Repository Development (ORD), OCRWM. . . . .	31
<b>Introduction to the Technical Program</b>	
David Duquette, Member, NWTRB . . . . .	73
<b>Logic for Evaluating Engineered Barrier Performance</b>	
William Boyle, Director of the Postclosure and License Acquisition Division, Office of License Application and Strategy . . . . .	74
<b>The Character of the Unsaturated Zone</b>	
Bo Bodvarsson, Director, Earth Sciences Division Lawrence Berkeley National Laboratory. . . . .	95
<b>Introduction to the Afternoon Session</b>	
Paul Craig, Member, NWTRB . . . . .	155
<b>The Character of the In-Drift Environment</b>	
Mark Peters, Bechtel SAIC Company, LLC (BSC) Los Alamos National Laboratory (LANL). . . . .	156
<b>Materials Performance</b>	
Joe Farmer, BSC/LLNL . . . . .	212
<b>Technical Program Summary and Discussion</b>	
William Boyle, Director of the Postclosure and License Acquisition Division OLAS, ORD . . . . .	269

I N D E X  
(Cont.)

	<u>PAGE NO.</u>
Public Comments . . . . .	324
Adjourn for the day . . . . .	329



1 of Energy. The President appoints Board members from a list  
2 of nominees submitted by the National Academy of Science, and  
3 the Board is, by law and design, a multi-disciplinary group  
4 composed of eleven members with a wide range of activities.

5           Let me introduce the Board members again to you  
6 today. As I introduce them, I would like them to raise their  
7 hand to be identified. Let me remind you that we all serve  
8 in a part-time capacity. We have other jobs. In my case, my  
9 full-time job, I am Chair of the Department of Engineering  
10 Physics at the University of Wisconsin, Madison. My area of  
11 expertise is in nuclear industrial safety, with emphases on  
12 subjects involving multi-phase flow and heat transfer.

13           Mark Abkowitz is a Professor of Civil Engineering  
14 and Management Technology at Vanderbilt University in  
15 Nashville, Tennessee, and is Director of the Vanderbilt  
16 Center for Environmental Management Studies. His expertise  
17 is in the areas of transportation, risk management, and risk  
18 assessment.

19           Dan Bullen is an Associate Professor of Mechanical  
20 Engineering at Iowa State University. His areas of expertise  
21 include performance assessment, modeling, and materials  
22 science. Dan Chairs our Panel on Repository System  
23 Performance and Integration.

24           Thure Cerling is a Distinguished Professor of  
25 Geology and Geophysics and a Distinguished Professor of

1 Biology at the University of Utah in Salt Lake City. He is a  
2 geochemist with particular expertise in applying geochemistry  
3 to a wide range of geological, climatological, and  
4 anthropological studies.

5           Norm Christensen is a Professor of Ecology and  
6 former Dean of the Nicholas School of the Environment at Duke  
7 University. His areas of expertise include biology, ecology,  
8 and ecosystem management. Norm Chairs the Board's Panel on  
9 Waste Management Systems.

10           Paul Craig is Professor Emeritus of Engineering at  
11 the University of California at Davis, and member of that  
12 university's graduate group in ecology. His areas of  
13 expertise include energy policy issues associated with global  
14 environmental change.

15           David Duquette is Department Head and Professor of  
16 Materials Engineering at Rensselaer Polytechnic Institute in  
17 Troy, New York. His expertise is in physical, chemical, and  
18 mechanical properties of metals and alloys, with special  
19 emphases on environmental interactions.

20           Ron Latanision is a Professor of Materials Science,  
21 Professor of Nuclear Engineering and Director of the H.H.  
22 Ulig Corrosions Laboratory at MIT. His areas of expertise  
23 include materials processing and corrosion of metals, and  
24 other materials in different aqueous environments. Ron is  
25 also a founder and Chairman of the MIT Council on Primary and

1 Secondary Education. He Chairs the Board's Panel on the  
2 Engineered System.

3 Priscilla Nelson is Senior Advisor to the  
4 Directorate for Engineering at the National Science  
5 Foundation. Her areas of expertise include rock engineering  
6 and underground construction.

7 And, Richard Parizek is Professor of Geology and  
8 Geoenvironmental Engineering at Penn State University, and  
9 he's also President of Richard Parizek and Associates,  
10 Consulting Hydrogeologists and Environmental Geologists. His  
11 areas of expertise include hydrogeology and environmental  
12 geology.

13 So, that's all of us, and the staff. I'm not  
14 allowed to say that, but it's an excellent staff, so I want  
15 to make sure you're aware of them all, and you will meet them  
16 as we go along.

17 Let me now turn to our meeting agenda. First this  
18 morning, we'll hear from Dr. Margaret Chu, Director of the  
19 Office of Civilian Radioactive Waste Management. Dr. Chu  
20 will update us on the status of the Yucca Mountain Program.

21 Following her presentation, John Arthur, Director  
22 of the Office of Repository Development, will present an  
23 overview of project activities, including long-range plans  
24 and project priorities for science and engineering.

25 After a brief break, we move to the central purpose

1 of today's meeting. As you may be aware, in various reports  
2 and public statements over the past decade, the Board has  
3 expressed concern about the uncertainties created by the  
4 effects of high temperatures on the repository system. In  
5 the last year or so, several things have happened that are  
6 relevant to the issues of thermal effects on repository  
7 design.

8           For example, in February 2002, the DOE submitted  
9 its site recommendation to the President, which included  
10 options for both high and low temperature repository  
11 operating modes. More recently, new data related to the  
12 corrosion of Alloy 22 at elevated temperatures have become  
13 available. These things have sharpened the Board's attention  
14 on this issue.

15           So, today, the Board has asked the DOE to describe  
16 clearly the thermal aspects of their high-level nuclear waste  
17 repository design and operating mode, how the thermal aspects  
18 of that design and operating mode were analyzed for waste  
19 isolation, and the results of those analyses.

20           To address that question, the DOE has assembled a  
21 connected series of in depth presentations. Particular  
22 speakers and topics will be described in more detail by our  
23 Session Chairs, both today and tomorrow.

24           And, now, for a few important business items before  
25 we begin. First, the Board values public participation, and,

1 so, we have given the public a variety of ways to comment  
2 during the meeting. We have set aside time for public  
3 comment at the end of the sessions today and tomorrow. If  
4 you would like to speak during those times, please add your  
5 name to the sign-up sheets at the registration table where  
6 Linda Coultry and Linda Hiatt are seated. Where are they?  
7 At the very back outside. Outside, okay. I was looking for  
8 them.

9           Most of you that have attended our meetings know  
10 that we try to accommodate everyone, but as you can see, we  
11 have a relatively tight agenda, and depending on the number  
12 of people who wish to speak, we may be forced to ration our  
13 time. As always, you are also welcome to submit your  
14 comments in writing for the record. If you have questions  
15 that you'd like to have the Board ask and that relate to  
16 topics being discussed, please give them to Linda Hiatt or  
17 Linda Coultry, and we'll ask the questions if time permits.

18           Second, I want to invite any of you who are  
19 interested to provide comments on the Board's updated  
20 strategic plan for fiscal year 2003 through 2008, and its  
21 performance plan for 2004. Copies of both are available on  
22 the documents table in the back of the room, or on the  
23 Board's website, [www.NWTRB.gov](http://www.NWTRB.gov). We welcome your suggestions  
24 for improving the way the Board conducts its meetings, and  
25 the topics on which it will focus in the coming year.

1           And then, third, I have to offer our usual  
2 disclaimers for the record, so that everybody is clear about  
3 the conduct of our meeting and what you're hearing and the  
4 significance of what you're hearing.

5           Our meetings are spontaneous by design. Those of  
6 you who have attended our meetings before know that the Board  
7 members speak quite frankly and openly about their interests  
8 and opinions. But I have to emphasize that when we speak  
9 with our, I say extemporaneously, they're speaking on behalf  
10 of themselves and not on behalf of the Board. When we are  
11 articulating a Board position, we'll be sure to let you know.  
12 Also, when Board positions are stated in our letters and  
13 reports, they will be available at the Board's website.

14           Finally, I'll ask all of you who have not already  
15 done so to please switch your phones and pagers to silent  
16 mode. Or else.

17           Let's now start the meeting by introducing Dr.  
18 Margaret Chu, Director of the Office of Civilian Radioactive  
19 Waste Management. Dr. Chu will update us on the status of  
20 the project.

21           Margaret?

22           CHU: Good morning. Thank you for giving me the  
23 opportunity to provide an update on our program.

24           One important activity that I've engaged in since  
25 our last meeting with the Board is what else, budget, is the

1 support for the program's fiscal year 2004 budget request  
2 before the Congress. In my budget testimony, I stressed that  
3 the program's key overall objectives are to submit a high  
4 quality license application in December 2004, and to begin  
5 receiving and emplacing waste at an NRC licensed Yucca  
6 Mountain repository in 2010.

7           And these goals remain, despite the final  
8 resolution of the fiscal year 2003 budget under which we have  
9 received \$457 million, which is \$134 million less than our  
10 request. Coupled with five months of continuing resolution  
11 at the beginning of fiscal year 2004, it was a very drastic  
12 reduction and impact to our program.

13           So, the Department of Energy and then our  
14 contractors have reviewed the program priorities, and are re-  
15 aligning the activities to reflect the available funding.  
16 Obviously, some activities will have to be reduced or  
17 deferred. Later, John Arthur will summarize for you the  
18 results of this replanning and what it means.

19           For fiscal year 2004, we requested the same amount  
20 as '03, which is \$591 million. This request includes funding  
21 for completing the technical products required for licensing,  
22 developing the license application, performing the work for  
23 Nevada and national transportation, and conducting scientific  
24 and technical work to achieve cost reduction and systems  
25 enhancement.

1           In my testimony, I also indicated that the program  
2 would not be able to meet the 2010 waste acceptance objective  
3 should funding fall below our requested level for '04.

4           We're continuing to work towards submitting the  
5 license application in December of 2004. The key activities  
6 include designs, total system performance assessment,  
7 preclosure safety analysis, and then addressing the key  
8 technical issue agreements.

9           Another key activity is the certification of the  
10 license support network six months before we submit a license  
11 application. You all know this is the electronic database of  
12 all the work, all the relevant work from the program. We now  
13 have a contractor on board to support our license and support  
14 network effort. This company has extensive experience in  
15 preparing electronic documentation and databases, similar to  
16 the LSN. So, I'm optimistic about meeting our schedule in  
17 this area.

18           Since I briefed you in January, I have also  
19 continued to implement our plans for strengthening our  
20 program organization as a disciplined culture that values  
21 safety and embraces quality. Our program's new leadership  
22 team is almost in place. At the last meeting, you met John  
23 Arthur, our Deputy Director of Repository Development, based  
24 in Las Vegas. Since that meeting, John Mitchell, who's  
25 somewhere in the audience--yeah, John Mitchell back there has

1 taken charge of BSC as the new President of our M&O  
2 contractor. And Mike Mason has taken the position as BSC's  
3 new Quality Assurance Manager.

4           In addition, we have Malcolm Knapp recently joining  
5 our DOE team. Malcolm, whom some of you may have known, has  
6 extensive experience from the NRC. Also, I'm looking forward  
7 to announcing in the very near future the selection of  
8 individuals to fill the final three important positions,  
9 Deputy Director at Headquarters, Transportation Director, and  
10 a Systems Analysis Director. I hope to announce them in the  
11 very near future.

12           I intend this management team to represent a  
13 significant new way of doing business, and to lead the  
14 program successfully through license application and beyond.

15           Last month, I issued the Phase 3, that's the final  
16 phase of our program manual, which defines roles and  
17 responsibilities for each functional area in the  
18 organization, and emphasizes formal relationship between DOE  
19 and the contractors.

20           In a related area, DOE and BSC initiated a Rolling  
21 Quality Focus process to ensure that the leadership team's  
22 vision, expectations and commitments on quality are  
23 understood by the whole organization. John Arthur will be  
24 telling you more about this initiative, and other management  
25 tools he's using to ensure that our licensing activities are

1 progressing well.

2           Now, I'd like to touch on some of the topics that  
3 our speakers will be addressing in depth for the meeting. As  
4 you are aware, the project is in the process of updating and  
5 finalizing our technical basis and support of the license  
6 application. This includes updates of analysis and model  
7 reports, AMRs, and the Total System Performance Assessment in  
8 the postclosure period. Along with updating each of these  
9 pieces, we are paying special attention to putting them  
10 together into an integrated "story" of system performance.

11           While it may be natural or necessary at first to  
12 analyze discrete elements of performance, it is very  
13 important to be able to eventually assemble all the related  
14 pieces to develop an integrated and a realistic picture of,  
15 for example, the near field environment. We intend to  
16 continue to mature these types of integrated story for the  
17 total system as we move forward to license application to  
18 present an integrated view of system performance, and to  
19 communicate effectively to a variety of stakeholders.

20           I believe this integrated approach will also  
21 provide insights to the resolution of the KTIs. Accordingly,  
22 the majority of today's presenters will focus on an  
23 integrated discussion of performance of the unsaturated zone  
24 in-drift, particularly focused on coupled processes, in-drift  
25 chemical environment, and localized corrosion. I'm sure

1 there will still be questions after today's presentations,  
2 but I'm hoping this integrated approach will begin to provide  
3 the logic, explanations, and the assumptions for the  
4 evolution of the near field environment.

5           As I said previously, our priority is to submit a  
6 high quality license application by December '04. I want to  
7 emphasize the importance also on the ongoing science in our  
8 program. Mark Peters will provide an update on the ongoing  
9 testing program tomorrow. The performance confirmation  
10 program will continue throughout the preclosure period, and  
11 it will be a condition of the NRC license. Detailed planning  
12 for this program is ongoing, and we stand ready to provide  
13 updates to the Board in the future meetings.

14           You are well aware of my commitment to a long-term  
15 science and technology program. We're making good progress  
16 in developing the science and technology program. You will  
17 hear more on this topic from Bob Budnitz tomorrow. The Board  
18 has previously noted the challenges we face in working within  
19 a very constrained budget environment, in which trade-offs  
20 and reductions must be made somewhere.

21           While we are focused on the preparation of the  
22 license application, I recognize, and in my congressional  
23 testimony, I have stressed the importance of providing  
24 adequate support for all of the pieces of the puzzle that we  
25 need to come together, including transportation, science,

1 technology and others, as well as, of course, the license  
2 application development. As we continue to adjust our plans  
3 to reflect our current budget outlook, and look forward to  
4 the FY '04 appropriations, I will keep all of these  
5 priorities in mind.

6           Finally, let me update you on some of the topics  
7 that are not on today's agenda, but in which I know you are  
8 interested. In the areas of design, I want to mention that  
9 we are making good progress toward finalizing the design,  
10 especially for the surface facility. We are also moving  
11 forward rapidly in the area of performance confirmation. I  
12 hope to be able to brief you on these topics in the very near  
13 future.

14           Now, we're currently looking closely at our  
15 transportation plans. You know the development of a  
16 transportation system is one of the most critical elements  
17 for a successful repository program. It is also one of the  
18 most challenging, as it involves development of the  
19 infrastructure, fleet acquisition, cask requirement,  
20 logistics, and support management and emergency response  
21 readiness.

22           I want to thank the Board's Panel on the Waste  
23 Management System conducting a productive meeting with us in  
24 February. As the Board's Panel has noted, engagement with  
25 stakeholders in the development of the transportation plan is

1 essential, I agree. Our transportation plans must maintain  
2 flexibility and offer the ability to handle contingencies.  
3 We're working to advance these plans and communicate the  
4 plans in a way that will make stakeholder engagement most  
5 productive for all concerned, and then actually I'll make  
6 sure the stakeholder involvement is one of the budget  
7 elements in the '04 and '05 and beyond budget in the  
8 transportation space.

9           And then I hope to report to you more definitive  
10 activities in the transportation area in the near future.  
11 And I think when the new Director comes on board, and it will  
12 be about the time we finish a lot of the scenario analysis  
13 we're doing right now in transportation, and like I said, the  
14 important thing is given all the uncertainties down the road,  
15 the timing and everything, I want to make sure we do the  
16 right planning, with enough flexibility and contingencies so  
17 that we always get there.

18           I appreciate the Board's continued involvement as  
19 we move forward, and I will be happy to answer any questions.

20           Thank you.

21           ABKOWITZ: Abkowitz, Board.

22           I have a couple of questions on transportation. I  
23 know that it's still undergoing some sort of big picture  
24 thinking with the agency. You mentioned at our meeting I  
25 believe in January, and I believe it was reiterated at the

1 Panel meeting in February, that there was a strategic  
2 planning process underway, and that a strategic plan was  
3 going to be prepared and available I guess sometime this  
4 summer. So, I was curious to know whether that is still the  
5 schedule.

6           And, you also mentioned a commitment to, you know,  
7 greater and continuous stakeholder involvement, and I was  
8 also curious to find out when those stakeholders were going  
9 to be invited to start participating in this process.

10          CHU: The strategic plan, our plan is to issue by the  
11 end of the fiscal year, so it will be the September time  
12 frame. That's our plan. Okay? And then we will get the  
13 stakeholders involved before we finalize that, so they will  
14 have a chance to work with us on the draft. And then that's  
15 one of the things we're looking at. There are a couple of  
16 opportunities between now and the next couple months, we'll  
17 probably start that process even before we write the draft,  
18 and get some of the key topics out in some kind of form.  
19 That's what we're planning right now to get stakeholders'  
20 input on these.

21           And part of the institutional plan is--not  
22 institutional--the strategic plan is we're hoping to have  
23 some companion documents, like institutional plan, which is  
24 really the stakeholders' involvement on that, and then  
25 hopefully, there will be a business plan, which I can't

1 promise you the timing, you know, how it relates to the  
2 strategic plan, but we would like to have a business plan and  
3 talk about acquisition plan, like how do we plan for the  
4 procurement part of the transportation system. Because we're  
5 going to involve a whole bunch of procurements from DOE on  
6 casks, on fleets, on, you know, HAZMAT, so we want to make  
7 sure all these are thought through. And we call that the  
8 business plan. On the side, there's an institutional plan  
9 that's the stakeholders' involvement, who and what and when  
10 and how, how they become part of the eventual emergency plan.  
11 And then they sort of get synthesized. At least that's how  
12 I view it, they get synthesized into a strategic plan. So,  
13 that's a rough plan right now, and then our plan is still get  
14 the strategic plan out by the end of the fiscal year.

15 NELSON: Nelson, Board.

16 Margaret, you spoke about an integrated story of  
17 system performance, having a realistic picture, accenting on  
18 integration and putting the pieces of the puzzle together.  
19 I'm wondering what does a safety case mean to you? And will  
20 there be something called the safety case created?

21 CHU: I wouldn't use that term, safety case, because  
22 there's so many interpretations of what that term is. To me,  
23 what I call the story is really how do you communicate a  
24 complicated system that has so many pieces, and we have put  
25 our work and scientific work together, and how do you pull

1 all that together and explain. And, for example, I'm hoping  
2 today you will get a feel of what our approach is, is what is  
3 the evolution of the near field, what are the pieces that  
4 support that picture.

5           So, I'm hoping, you know, eventually, if not by the  
6 end of this meeting, is, you know, down the road, and people  
7 understand, yeah, okay, this is how the, from the unsaturated  
8 zone down to the in-drift environment, these are the  
9 influencing factors as a function of time, and all the  
10 thermal conditions, chemical conditions, we pull that all  
11 together. These are the dominating things, and these are the  
12 things that may or may not happen, but we believe these are  
13 important things to happen. Therefore, we can't ignore it,  
14 and these are the things that will be more important as time  
15 goes on, and that you describe the whole evolution and then  
16 present the logic and the evidence behind it.

17           I'm sure there's still issues in the whole  
18 approach, and in the details. You know, there may be gaps  
19 here and there in the story, but I'm hoping to pull it out  
20 together so we all can talk about it, because I know there  
21 are a lot of issues related to the near field environment.  
22 That's why we picked that topic, and it addresses a lot of  
23 the thermal issues, and it addresses a lot of the corrosion  
24 conditions, and what is a realistic condition in the near  
25 field from day one to 10,000 years, and why we believe that's

1 the evolution, and what is the evidence that supports that  
2 picture.

3           And then I don't know if you want to call it a  
4 safety case or not, but I wouldn't call it a safety case,  
5 because safety case has its own meaning, I think, outside.  
6 This is just the integrated story.

7           NELSON: Nelson, Board.

8           Many other projects are using the concept of a  
9 safety case and a document that might be called a safety  
10 case. Would there be a document that would do substantially  
11 the same conveying of information? I mean, the TSPA by  
12 itself doesn't tell the whole story. So, will the project  
13 produce a document that effectively does that?

14          CHU: We haven't thought through that. You know, the  
15 way I look at it, I'll see how it goes. And it could be in  
16 some kind of summary document, or it could be part of the  
17 license application. I don't see why it wouldn't be there,  
18 some kind of summary, you know, at certain chapters. I  
19 really don't know right now, depending on how it gets pulled  
20 together, whether it does convey the message, as it should,  
21 and whether it communicates well with this approach. So,  
22 that's where we are. We'll see whether it works well or not,  
23 and then the Board would be telling us whether it's working  
24 well.

25          PARIZEK: Parizek, Board.

1           I was just going to pick up on the same theme, and  
2 that is I think the international community always looks for  
3 a safety case, and it's more than TSPA, and without one, will  
4 we have the same credibility as a nation as if we had one and  
5 it was well put together. So, I would sort of endorse it.

6           The other question, though, was related to the  
7 budgeting for the stakeholders. Do you visualize money being  
8 provided to stakeholders so they get involved in this process  
9 actively, or do you feel they will be there in any event,  
10 just as long as you allow time to do this?

11          CHU: You know, in the past few years, we have been  
12 providing a small amount of money, what we call cooperative  
13 agreement funding to groups of folks. And then these just  
14 attend meetings and talk to us. These are like \$50,000 per  
15 year range. They are a small amount. But we are revisiting  
16 all of that to see what it means. You know, do we want to  
17 extend to a broader community? This is all part of that  
18 institutional plan.

19          PARIZEK: There are many people who have a problem  
20 attending the meetings where they're held, and even for the  
21 Board to go to different locations to seek out people's  
22 concerns is expensive for people. So, you're thinking about  
23 some budgetary help along these lines.

24          CHU: Right. Yeah. So, this is all part of a plan. We  
25 going to see what interactions we need, you know, what's

1 possible, will these people be able to come, and then this is  
2 all part of that.

3       PARIZEK: Thank you.

4       CHU: Thank you.

5       DUQUETTE: Duquette, Board.

6             Margaret, would you be willing to share with us how  
7 you anticipate taking the 20 or 25 per cent cuts that you're  
8 talking about? That is, will it be across the board, a  
9 reduction in funds for all of the programs, or are you  
10 planning on cutting out some of the programs, and so on and  
11 so forth?

12       CHU: It's 22 per cent. Yeah, John Arthur will actually  
13 give you a rundown, a detailed, fairly detailed rundown,  
14 which areas we're going to be cutting, which areas will be  
15 deferred. And, so, John, right? You're going to give a  
16 fairly good summary.

17       DUQUETTE: Thank you.

18       CHRISTENSEN: Margaret, Bill may be covering this, but  
19 in many of your past presentations, you've emphasized your  
20 support for maintaining a science program, and I just wonder  
21 in this general mix of things, where is that among your  
22 priorities? How is that likely to fare in the current budget  
23 situation?

24       CHU: You know, for '03, we requested only \$2 million  
25 for current year, because we've just barely started. And

1 we're basically maintaining that. I think it's very close to  
2 \$2 million. Bob may be able to tell you, 1.8 or 1.7 that we  
3 are keeping. And for the '04 budget request, we're putting  
4 in a \$25 million request. And it then depends on what  
5 happens with the appropriation, and so on. And for '05,  
6 which we're actually starting that planning process, we are  
7 thinking of even up to maybe \$30, \$35 million range. So,  
8 we'll see how reality impacts our decision, but it is, like I  
9 said, it's a very high priority for me. And then I will do  
10 the best I can to keep a healthy science and technology  
11 program going.

12 CHRISTENSEN: Thank you.

13 CORRADINI: Dan?

14 BULLEN: Bullen, Board.

15 In your comments, you mentioned that you value  
16 safety and you embrace quality, and I wonder if you could  
17 comment on the recent articles in the press about the stop  
18 work order and the QA challenges, also realizing that it's  
19 beyond the purview of the Technical Review Board to worry  
20 about quality assurance. But, I guess it just harkens back  
21 to the ability of the public to accept the program. So,  
22 could you talk a little bit about the QA problems or  
23 challenges, I guess you said?

24 CHU: Yes. Let me first, you know, explain this quality  
25 assurance program a little bit. Some of you may or may not

1 be familiar with it. The Yucca Mountain program is under a  
2 very special, highly rigorous quality assurance program,  
3 which is for nuclear activities, like reactors or nuclear  
4 disposal programs. And what it entails is, you know, the  
5 technical work has to be we call it R2T2, okay, from my WIPP  
6 days. It really means all the technical and scientific work,  
7 and analysis and data have to be retrievable, reproducible,  
8 traceable, and transparent. I'm kind of using the layman  
9 language. That's the spirit of the nuclear quality assurance  
10 program.

11           So, that means the scientific work has to be  
12 documented at a very highly rigorous procedural fashion.  
13 And, so, one point I want to make is when scientists and  
14 engineers, when they do not conform to these procedures, may  
15 times they don't necessarily mean there's a defect in the  
16 work itself, but these other actions that need to be  
17 corrected, because it is required as a licensee for NRC.  
18 That's one point I want to make.

19           And the second thing is because this rigorous  
20 quality assurance program, and then we have a program that  
21 has been approved of by the NRC, and that we have on-sight  
22 daily, almost daily oversight from them, and as part of this  
23 program, it's a requirement actually by the QA program that  
24 there will be a lot of inspections and audits, and it's  
25 expected to have a lot of deviation from the procedures. I'm

1 not saying a lot of deviation is good, but as part of the  
2 program, you will self-identify issues, and you correct them.

3           And since our program for like 20 years was a  
4 scientific program, and then we're transitioning into this  
5 highly rigorous I call it nuclear culture, yes, we do have  
6 problems, we do have problems for people following this  
7 rigorous procedure, and we are trying very hard making sure  
8 they understand that, and making sure it is essential and  
9 necessary, absolutely critical for them to comply with these  
10 procedural requirements.

11           And then what we are doing, that's really, you  
12 know, in a way one of the reasons I did the reorg and bring  
13 in new leadership, because it's a cultural thing. So, I  
14 don't like the Bandaid approach, because I don't think it  
15 works. So, I want to have a more sustained, longer term  
16 cultural embracement of this nuclear culture, because there's  
17 just no other way I know how to do it, except for cultural  
18 change. So, that's what we're doing.

19           And then are there deviations from compliance? You  
20 bet. But is it getting better? You bet. We see encouraging  
21 science and trends, that it is getting better. Is it getting  
22 better at a fast enough pace? I don't know. We're trying  
23 very hard, and John Arthur and John Mitchell, and our other  
24 new QA managers, they got brought in to make sure it gets  
25 turned around fast enough. But, does that mean our technical

1 work is flawed or incorrect? I don't believe so. Because we  
2 have a lot of ongoing review oversight from the Board members  
3 and from the National Academy of Science and from a lot of  
4 peer reviews, domestic and international. These are the  
5 technical oversights.

6           And then, you know, there are issues, technical  
7 issues, yes, they are open, they are being addressed. So, I  
8 don't think the QA issues have compromised our technical  
9 work. But, there are a lot of remaining cultural things I  
10 need to fix and improve, and it's very high for the  
11 management team, and I'm optimistic that we'll get there. I  
12 am hoping there will be less violations of the procedures.

13           Also, another important thing I want to stress to  
14 everybody, we will not deliver a license application until  
15 every piece of data, every software are QA'd according to the  
16 NRC requirements. So, that's very important to all of us. I  
17 think the whole troop understands that. We'll get there, you  
18 know, when we're ready to deliver. If we're not there, we  
19 won't deliver, because I can't deliver something that doesn't  
20 comply with NRC's requirements.

21           ABKOWITZ: Abkowitz, Board.

22           I want to follow up on the comment, Margaret, that  
23 you just made. I appreciate your concern for the QA, but if  
24 the license application is still planning to be submitted in  
25 December of 2004, there's a point in time before that where

1 you basically say we go with the analytical work that we have  
2 established to date. Do you see that you'll have enough time  
3 to implement the changes that you're looking to do to have  
4 the confidence that you're looking for, so that when you draw  
5 that line in the sand, you'll still have sufficient time to  
6 put the application together based on that information?

7 CHU: Like I said, you know, we have to monitor the  
8 situation very closely between now and then, and then we have  
9 to make a management decision down the road and say are we  
10 there or are we not there. And I can assure you we're going  
11 to make a high integrity decision when the time comes. If  
12 we're not there, we're not there. When we are there, we're  
13 there. And we will report to you and then, you know, like I  
14 said, we get a lot of oversight from people, so I think the  
15 situation we get will be monitored by a lot of people, not  
16 just me alone, and it will become apparent whether we are  
17 improving rapidly in the QA area, or are we not.

18 And then, like I said, I believe we have the new  
19 team in, they are extremely experienced people, and we're  
20 going to walk the talk, and I'm optimistic. I'm always  
21 cautiously optimistic. Of course, you know, you have to  
22 always go in that direction. If you don't try, you never  
23 know whether you'll be successful. And that's our attitude.

24 Thank you.

25 LATANISION: Latanision, Board.

1           The corollary to Mark's question also affects the  
2 science and technology program. Much of the work, and  
3 especially the ramped up budget, will occur post-licensing  
4 application. And, so, I'm wondering is the philosophy to  
5 incorporate findings that will emerge from that program as  
6 amendments to the application if they're appropriate? Or how  
7 do you envision making use of the information that will flow  
8 from that program?

9           CHU: You know, this is a topic we talk a lot about  
10 internally. The answer is yes, if it's appropriate. If I  
11 may give an example? For example, the saturated zone, which  
12 we haven't taken a whole lot of credit, we all know that, and  
13 then if there is some new information after we submit the  
14 application, we feel if it's appropriate as part of the  
15 review and defense of the license application, we might put  
16 in an amendment. You know, it probably wouldn't be an  
17 official amendment. It would probably be additional  
18 information, and we'll put it in for NRC to consider.

19           And then whether it's positive or negative,  
20 whatever the new information is that's relevant to the  
21 license application, I think will be sent in as appropriate.  
22 That's how I view it. But I don't know how NRC will view  
23 it, officially how they receive this information, I'm not  
24 sure because I don't think they have mapped out a detail on  
25 how they receive additional information.

1           LATANISION: Thank you.

2           CORRADINI: Other questions?

3                   (No response.)

4           CORRADINI: Thank you, Margaret.

5           CHU: Thank you.

6           CORRADINI: We'll now have John Arthur talking about an  
7 overview of project activities, including the long-range  
8 plans. John?

9           ARTHUR: Good morning, and I'm very pleased to be here  
10 in Washington today. And as discussed by Dr. Chu, our  
11 highest priority remains submittal of a high quality license  
12 application in December of 2004, but also keeping focus on  
13 the longer term goal of maintaining an opening date of the  
14 repository in 2010.

15                   Included in this is completion of the necessary  
16 design work, and most importantly, demonstration of an  
17 operating environment, and in my words, management culture  
18 appropriate for a licensee.

19                   I want to today just start with some successes  
20 since the last quarterly meeting we had in Las Vegas. First  
21 of all, the Department and NRC have now established an  
22 aggressive, we have actually seven meetings scheduled through  
23 the end of June, aggressive interaction calendar to continue  
24 critical discussions on KTI, the key technical issue  
25 agreements, one in June on the repository design, preclosure

1 safety, and also the environmental impact statement process.

2           Margaret mentioned some of the personnel changes in  
3 both the Department of Energy and also in Bechtel, and I'm  
4 very pleased to have John Mitchell as a counterpart. John  
5 and I worked across the table from each other in the National  
6 Nuclear Security Administration years ago, so we've worked  
7 together in the past, and we have some pretty big challenges,  
8 as Margaret said, here on the horizon right now.

9           Also, in my office in Las Vegas, I'm in the process  
10 of interviewing and hope to select soon a permanent licensing  
11 manager for our office in Las Vegas.

12           One of the bigger areas we've done over the last  
13 three months is start a monthly operating review. In a  
14 project of this caliber, be it the scientific endeavors, the  
15 engineering endeavors, operations or planning, you need to  
16 have a clear summary on a monthly basis of where you stand  
17 associated with the costs, the schedule, and also the  
18 technical aspects of the program.

19           This is one right out of our last report, and  
20 actually this is out of a report we did about two weeks ago  
21 that actually shows percent complete on a license  
22 application. First of all, this is our management assessment  
23 from Joe Zigler and Nancy Williams, the DOE and Bechtel  
24 counterpart of license. What we've done is broken out the  
25 major components of the license, put the percent completed.

1 In each of these areas when we say complete, it includes not  
2 just the technical assumptions and the planning, but also the  
3 appropriate level of quality required. And then, also, we  
4 have a weighting for each of those areas, anywhere from 10 to  
5 30 per cent. And, right now, our assessment is 16 per cent  
6 complete on the license application that we're targeting for  
7 December of '04.

8           If you move into the next graphic, and this will  
9 have some colors. Across the whole business, everybody has a  
10 different way to grade this. But, green means everything is  
11 on schedule, within the right cost categories, no major  
12 variances, and also technical aspects are working very well.  
13 Yellow means that there are some concerns, but they are  
14 resolvable, and you can get back into the green with proper  
15 management emphasis. Red is not a failure mode. It means a  
16 lot of management attention is required. There's either a  
17 significant cost schedule, and most of these cases I'm  
18 presenting, it's a combination of cost and technical issues.

19           I just want to talk on a few of these here. Time  
20 won't permit me to cover all these, but I just want you to  
21 know that I applaud our Department of Energy and Bechtel  
22 managers, because I think they've done an honest assessment  
23 of what's working well and what's not working well right now.  
24 And I just want to cover a few areas. On your left there,  
25 if you go into Commitment Management at the bottom of the

1 License category, this has to do with the realignment. We're  
2 behind schedule on some of the critical key technical issue  
3 reports to NRC. And the replanning that I'm going to talk  
4 about in a few minutes, we're trying to repackage those to be  
5 better for how they're presented to NRC in the future, and  
6 also to align them to a better schedule. But, right now,  
7 we're carrying that one in the red because it requires a lot  
8 of discussion and action underway.

9           If you look down the Safety Analysis column, total  
10 systems performance assessment, TSA work and model input are  
11 behind schedule. We've had some challenges with the  
12 engineering barriers system and waste package degradation  
13 areas, inclusion of the localized corrosion model. And these  
14 are the words you see right in our report. Again, it's not  
15 just to raise the issue, but also I expect each of our  
16 managers will say about a path forward, who's in charge, and  
17 what we're doing to try to get things back on track.

18           One other area I would cover would be Surface  
19 Facilities. And our design is proceeding, but with the  
20 continuing resolution and reduced funding for this year,  
21 we're trying to get things back on track. We just, through  
22 Bechtel announced word of a surface design support contract  
23 last week to bring in some unique expertise to help us on the  
24 surface design. Tied into that, if you look at the  
25 preclosure safety analysis, the majority of that analysis is

1 associated with surface design. So, you see a close tie  
2 between getting the design back on track, and the preclosure  
3 safety analysis.

4           So, in summary there, I want you to know we're  
5 looking at it monthly, trying to put some management  
6 discipline into it, accountability, and also recognize where  
7 things are going well and where we have challenges.

8           A couple other areas I'd like to discuss. First of  
9 all, another couple successes, we did issue the quality  
10 assurance requirements document, Revision 13, and that has  
11 been accepted by NRC. That's the guiding document for our  
12 entire program, and all aspects of implementing NQA 1. And,  
13 also, we've put added management emphasis through John  
14 Mitchell and his team at Bechtel on working off actions, two  
15 major corrective actions that have been behind schedule for a  
16 long period of time, one on the model validation and the  
17 other on software qualification. We do now that schedules  
18 for the August and September 2003 time frame to close those  
19 out. Those are critical. Those are the heart of the  
20 license. In other words, instead of trying to review and  
21 approve these models and data, we want to make sure that we  
22 have the right processes so they're coming out of the  
23 pipeline with quality built in the first go around.

24           Again, rest assured before anything goes into the  
25 license, we're going to make sure that the right pedigree of

1 quality is built into those aspects.

2           Two other success stories. We successfully  
3 completed an evacuation and reentry of the exploratory  
4 studies facility in January. But, we had some degradation of  
5 some of the electrical systems, a short in one of the lines  
6 that required three different, first of all, we had visitors  
7 at the site that required an evacuation, and I was very proud  
8 of our mine rescue team. They did an outstanding job to go  
9 in and do the necessary actions after the fact to determine  
10 the cause, and we have actions underway to improve that right  
11 now.

12           Also at the site, we did a full stand-down of all  
13 the electrical safety. We had some issues and concerns, and  
14 timely management action by Bechtel/SAIC definitely improved  
15 safety and technical qualifications of the workers. Work is  
16 back proceeding in that area.

17           Okay, now onto the big topic of discussion, and  
18 that's the budget and planning and what is a replan and why  
19 does it occur. First of all, if you look at the program, as  
20 Margaret said, we originally requested \$591 million for the  
21 fiscal year '03. We operated for the first five to six  
22 months of the year essentially at a flat-line level of what  
23 we had in fiscal year '02. So, you had a wave of work being  
24 deferred. No matter what you do, you have some work they  
25 were planning at a higher level, and that was deferred.

1           Also, when the funds finally came in, we were about  
2 \$130 million, or so, in the red. So, I think it's been a  
3 major task between our federal staff, the labs, the USGS,  
4 Bechtel and all others involved to really take a hard look at  
5 the program, first of all, to keep a quality license  
6 application first and foremost, but also not do anything that  
7 impacts post-license application. And what I tried to do was  
8 give some realistic planning assumptions to Bechtel/SAIC.  
9 Instead of planning at a high level and then coming back  
10 down, plan, and then if Congress decides to fund at a higher  
11 level, I'll be glad to accelerate work. And I'm sure John  
12 Mitchell and others would be, too.

13           So, the numbers I gave them was \$295 million for  
14 this fiscal year, and I believe it was \$330 million for  
15 fiscal year '04. I expect to make final decisions when I get  
16 back to Las Vegas on this this week, because you have to  
17 remember we have four months left in the year, and if we're  
18 going to let go of some things in order to get the funds for  
19 other areas, we need to move very promptly, because time is  
20 of the essence.

21           Areas that DOE and Bechtel will maintain and  
22 support include, first of all, rigorous health and safety  
23 program compliance with all applicable permits, preparation  
24 of a complete, high quality license application, with all the  
25 requirements of 10 CFR 63, and also the Yucca Mountain review

1 plan, addressing KTI agreements by the time the license is  
2 submitted, and I'll be discussing that more a little bit  
3 later, ensuring that the repository and the waste package  
4 design information is fully adequate for submittal. The  
5 total system performance assessment and preclosure safety  
6 analysis both will be technically defensible and with proper  
7 quality assurance controls. The license support network  
8 development in support of certification six months prior to  
9 LA submittal is one I had read a little bit earlier, because  
10 of trying to align some of the relevancy criteria. This is  
11 of major magnitude of assessing all the key documents. But,  
12 again, we will make sure we have the proper funds to do that  
13 work correctly.

14           Probably one of the most important ones, and you  
15 probably read in the media some of the challenges we have,  
16 and I know Margaret mentioned that on corrective action  
17 program, maintaining a safety conscious work environment,  
18 nuclear culture and QA program. We will not sacrifice one  
19 dollar in that area. We will make sure everything is moving  
20 in the direction to maintain the right operating environment.

21           Site operations, we will maintain a minimum site  
22 safe operations, and limited site access. We are going to  
23 reduce and shrink the footprint of the site to that that is  
24 critically needed to do the work. I know at one time, we  
25 were offered options as far as shutting the whole site down,

1 which really no one wanted to do. We know the importance of  
2 all the work that's gone on. We're trying to get more  
3 efficient in maintaining and managing the site.

4           Also, with that, we'll still have a goal to try to  
5 keep the site open for the public and critical tours, but it  
6 won't be at the rates that we're doing now. We'll reduce  
7 that to a lesser amount of days per week. I just can't get  
8 everything, I mean, we've been down to the \$100,000 level, or  
9 even \$10,000 level, in this replanning effort, so we're  
10 trying to make sure everything fits into the right package,  
11 and we maintain the maximum priorities.

12           Areas that will cease and resource reductions,  
13 there will be some personnel reductions across the system  
14 with this, some reductions in force. And, as I mentioned, at  
15 the site operations, we'll reduce the experimental footprint,  
16 partial but limited site access for tours, and also access  
17 for critical experiments. But the site operations, we're  
18 going to defer new tests, again hopefully in '04, '05,  
19 depending on budgets, we'll get some of those started. Most  
20 cases, these would be areas that are needed for our  
21 performance confirmation. These tests are not directly tied,  
22 in our mind, to either the key technical issues agreements or  
23 the license application. But, in doing this, we do accept a  
24 moderate risk, and we fully realize that.

25           I just want to give you an example of some of those

1 tests. The cross-drift heater test in Alcove 10, seepage  
2 test in Niche 6, crest to alcove in Alcove 9, the Calico  
3 Hills Unit drilling and testing, again, these are not  
4 directly tied to KTI, but would provide additional confidence  
5 with parameter distribution concept models later. So, some  
6 of this we hope to get back on track in the '04, '05 time  
7 frame. And then, also, the alluvial tracer complex. This  
8 one also right now is tied into a key permit issue.

9           In the preclosure safety, we have had some slippage  
10 in our schedule, as I mentioned a little bit earlier, tied  
11 into the design, but we feel we can still get that back on  
12 track.

13           Environmental safety and health, we'll reduce some  
14 of the support levels required. But, again, we're still  
15 going to maintain safety and health, but have some reductions  
16 in the area. And information technology, we'll have to  
17 eliminate any new systems development, reduce planning.

18           As you look at it, it sounds pretty challenging,  
19 but, again, we feel that we have the right blend of the  
20 program to proceed, and I guess we'll have to wait and see  
21 where we are again in '04. Please recognize that, you know,  
22 final decisions are being made on this, and I hope to get a  
23 letter back to John Mitchell either late this week or early  
24 next week. With that, in a meeting with the Nuclear  
25 Regulatory Commission we had in Las Vegas several weeks ago,

1 there was a request to show, you know, what the current  
2 program is, and then what this replanning does as far as the  
3 future. And we have committed to share that with them, and I  
4 will share that with you also, offer it to the NWTRB. It  
5 should be available in another week or so. It will just  
6 show, you know, all the critical work originally planned  
7 versus what's deferred and how that ties together, because  
8 the NRC obviously has a lot of interest in this also.

9           Okay, if I can move away from replanning for a few  
10 minutes, I want to talk about another success that's  
11 happened. And when I met you at the first meeting in Las  
12 Vegas, I said we were going to start some efforts, something  
13 similar to what we did at the Waste Isolation Pilot Plant  
14 back in the Nineties. A project of this complexity requires  
15 a fully integrated schedule with all of your logic, all of  
16 your assumptions, not just the license, but transportation,  
17 science and technology, land acquisition, interface with  
18 other agencies, and I'm pleased to say we've started those  
19 efforts, and right now, the schedule, and you see just a  
20 snapshot of the schedule, it's in your handouts there, we're  
21 about 60 per cent complete. And I hope within the next month  
22 and a half, to have that completed and then be able to share  
23 it with the Board, NRC, other critical stakeholders, because  
24 we want to receive input on this.

25           This schedule, at one time, we had a noble goal of

1 trying to lay it out to 2034. My staff told me it would be a  
2 little bit too ambitious. How about let's just focusing on a  
3 2011 date, and that's where the initial focus was. You can  
4 look on the schedule that you have there, and it will just  
5 give you a snapshot. This is probably about one-thirtieth of  
6 the total. This sheet would probably fill about the size of  
7 the whole panel here.

8           And, again, I'll just emphasize a few things. If  
9 you go down on Engineering and Design, and you go across the  
10 bottom line, you'll see one that says Freeze Design Products  
11 for the License in March of '04. Our plan is to complete the  
12 license application design in May of '04, and then you can  
13 see a feed that goes up to Licensing and across, and all this  
14 goes up to the top line of NRC receives a license application  
15 submittal and LSN recertification, December of '04.

16           Obviously, this is one critical area of emphasis  
17 and focus, but there's a lot of other areas underway,  
18 transportation, other pre-areas, site planning. You know, as  
19 we had this meeting, we have to run an environmental analysis  
20 parallel to our license application to make sure that we have  
21 the proper NEPA planning. Our original FEIS was either  
22 correct or we have to do a supplement. And, in the meetings,  
23 it was an eye opener to us, our NEPA expert said, well, I  
24 need to have this information by a certain date, and then we  
25 said, well, we need to have a site construction schedule in

1 order to analyze those impacts. So, at least this analysis  
2 is forcing us as a team to bring the logic and assumptions  
3 together and realize where we're connected, and also where we  
4 have a disconnect, to try to timely work that.

5           There's a lot of other background. When I do  
6 present this to you, there will be hundreds of assumptions  
7 and logic in other key areas, or the foundation by which we  
8 plan this program. So, again, it's coming together well. I  
9 look forward to receiving comments once we put this out. It  
10 will probably be really July.

11           And then after that time when we feel we have it  
12 correct, then we'll do what are called resource loading of  
13 the schedule, which is the major effort where you really  
14 align this to your budgets and other key areas. And then  
15 we've fully achieved one of our major goals of a fully  
16 integrated program from our schedule planning and resource  
17 planning. But, I can't overstate how complex it is to do  
18 this, but we'll get through it, and I look forward to  
19 receiving comments as we proceed.

20           Another area I want to talk about for a few minutes  
21 is safety conscious work environment. And it's a terminology  
22 in the NRC environment, I'm getting re-familiarized, having  
23 spent the last 24 years of my career in mainly the DOE  
24 projects, but I take seriously all of the concerns, and I  
25 speak for John Mitchell, Margaret and our entire team here as

1 I say this, I take very seriously the concerns that were  
2 reported in the media, and we do have several investigations  
3 underway right now. I should get reports on this in the next  
4 few weeks. Based on what comes out of that, proper actions  
5 will be taken. Or, if there is no requirement, if nothing  
6 comes out, then nothing will occur.

7           As Margaret said, you know, the cultural changes  
8 take time to do. When you look at the best-in-class in  
9 industry, it could take anywhere from a year to two years to  
10 really ramp up. And I would say that the first trigger, a  
11 lot of the changes occurred probably about last summer with  
12 the site recommendation report, you know, a major hurdle from  
13 20 years of real detailed scientific data and collection and  
14 models and characterization, to really we're going ahead to  
15 proceed into licensing.

16           And then on top of that, we overlaid a new  
17 management structure, and we're trying to stabilize right  
18 now, is the best I can say, have to put the new management  
19 systems in, also to work with our team. I like to have them  
20 on success, but when there's an issue that has to be dealt  
21 with, be it disciplinary actions or other areas, rest assured  
22 that Margaret or John Mitchell or myself will take proper  
23 action.

24           So, it's going to take some time, and that's really  
25 the challenge that the Nuclear Regulatory Commission gave us

1 the other week, to have the right operating environment by  
2 the time the license goes across the threshold in December of  
3 '04. And, we are planning to achieve that. Again, it will  
4 take a lot of emphasis as we continue to proceed.

5           A couple other areas, key technical issues and DOE  
6 and NRC interactions. And I believe this week, there's one  
7 key interaction occurring with NRC. As I said earlier, we  
8 have a very aggressive schedule. But, we do plan and  
9 schedule for addressing KTI agreements, and we are re-  
10 evaluating that in our replanning efforts, because we are  
11 behind schedules as we proceeded into this year. We want to  
12 try to get things on track, but also not create such bow wave  
13 that's impossible for NRC to review those critical ones  
14 before the license goes in.

15           We respect all the commitments that were embodied  
16 in the original KTI agreements and the significance and the  
17 importance of having these agreements addressed. Again,  
18 we're trying to look at the most efficient way to do that.

19           We have renewed an aggressive interaction schedule,  
20 because I think it's safe to say that both NRC and DOE are  
21 learning as a licensing agency and a licensing applicant as  
22 we work here, and we are trying to clarify and formalize  
23 goals and expectations for submittal of the license.

24           For example, four key technical exchanges are  
25 planned and occurring in May, and it's geomechanical issues,

1 which has been completed, data and the quality assurance  
2 requirements document Rev 14, a volcanic hazards  
3 characterization, and also the one I believe that's underway  
4 this week is the use of risk information to address KTI  
5 agreements. And that's a real critical one, because we have  
6 some that are on hold pending adequate resolution of that  
7 particular area.

8           Let me now proceed into my summary. First of all,  
9 the design and understanding the thermal effects. And I  
10 could see in the first meeting, there was a lot of interest  
11 in the operating mode associated with the repository design  
12 and operations, and the license for construction  
13 authorization will be based on the design and operational  
14 parameters that maintain below boiling temperatures in the  
15 pillars between emplacement drifts following repository  
16 closure. But operational flexibility will be preserved.

17           Boundary conditions for the license application  
18 design will be established in June of '03. We have some  
19 interactions going on between Bechtel and ourselves right  
20 now, and the license design, as I mentioned up there on the  
21 schedule a little bit earlier, is planned to be complete in  
22 May 2004.

23           However, final decisions regarding ventilation, for  
24 example, the duration and use of natural versus forced, and  
25 other operating variables to determine the range of post-

1 closure temperatures, and the associated in-drift  
2 environment, will be made after issuance of a license and  
3 adequate information is obtained through performance  
4 confirmation. So, the point I'm making is there's a lot of  
5 decisions we can move through, and I hope in time as we  
6 mature this decision plan more, you know, we may not know  
7 everything today, but we can show in the future where  
8 information would either provide it from confirmation or  
9 other key areas that might in the future trigger other  
10 license amendments required associated with the repository.

11           We recognize the importance of being able to  
12 demonstrate an adequate understanding of the environment in  
13 the drift, and on the surface of the engineered barriers and  
14 other factors affecting these environments. And, again, the  
15 presentations you'll see, I know our teams have been working  
16 real hard to try to lay out everything, and I look forward to  
17 the dialogue as we proceed.

18           In summary, we have completed, or are in the  
19 process of completing a major program realignment, and I  
20 think it's based on realistic assumptions. With that, as I  
21 said earlier, I know we accept more risk than what we would  
22 have had if we'd have had the full budget alignment. And,  
23 again, with that, we will have to see what happens in '04 as  
24 to what further actions may be required, or what further work  
25 can be accelerated.

1           Submittal of that high quality license application  
2 is our critical goal for December of 2004, but quality will  
3 be built in there, and we have had a number or series of  
4 meetings with our senior managers over the last six weeks to  
5 state that it's quality first. You have to have a proper  
6 balance of quality and schedule, but at the same time, we  
7 will not proceed with a license until all aspects of quality  
8 are built in.

9           And, again, as I showed you, I tried just to give  
10 you a glimpse of it today for our monthly operating reviews.  
11 We are trying to do an honest assessment of where we're  
12 doing well, and where we have issues. I know a lot of my  
13 staff and others have said, boy, it's red, it's red, it's  
14 failed. I said it's not a failure. It recognizes there's an  
15 issue, and it recognizes who's accountable to try to make the  
16 right level of improvements. So, we are trying to get  
17 systems in place to give us a better I call it a finger on  
18 the pulse of the overall program.

19           So, again, I thank you for the opportunity to talk  
20 with you today, and I'll look forward to entertaining any  
21 questions.

22           CORRADINI: Dick?

23           PARIZEK: Parizek, Board.

24           For clarification, on Page 3, you didn't define the  
25 white boxes. You've got green, yellow and red.

1           ARTHUR: Thank you. In our areas, no assessment  
2 currently is underway in those areas. And some of those will  
3 come into that category as more work starts to occur. So,  
4 white means no assessment is currently underway.

5           PARIZEK: Then I didn't know if I could recognize which  
6 was the transportation plan. Is it under the engineering  
7 section?

8           ARTHUR: I'm sorry. That's not included in here. This  
9 is just the license and the areas under us in the Office of  
10 Repository Development, Las Vegas. We are maturing data on  
11 transportation and other key areas on a parallel path to  
12 this.

13          PARIZEK: So, there's another chart that would include  
14 the whole system?

15          ARTHUR: There will be. There isn't right now, but  
16 there will be in time, yes.

17          PARIZEK: And I didn't understand when you mentioned  
18 something about the drift scale experiments being deferred.  
19 I mean, there's certain projects underway that you don't want  
20 to interrupt because you're in a cool-down phase. Did you  
21 say that there would be certain work not done on the drift  
22 scale experiments at this time? Because, I mean, here's this  
23 cooling down, and you don't want to lose data because it took  
24 four years to heat it up, four years in cooling down. And  
25 that's for the alluvial testing, which you haven't started,

1 you know, experimenting, and you need that data also.

2       ARTHUR: Our plan, and Nancy or someone can correct me  
3 I'm wrong on this, Nancy Williams, but our plan is still to  
4 collect critical data on those experiments. Nancy Williams,  
5 if you could just stay up to the mike and help me? Nancy is  
6 in the heart of all the details of what I'm presenting.

7       WILLIAMS: In fact, the cool-down testing data is still  
8 being collected. So, ongoing tests are being collected and  
9 continued. It's the new testing that's being deferred into  
10 '04, '05.

11       PARIZEK: Thank you.

12       DUQUETTE: Duquette, Board.

13               I just want to understand a couple of things on  
14 your presentation. It really has to do with the question I  
15 asked earlier. I got the impression from what you said is  
16 that you've been able to absorb most of the cuts in your  
17 proposed budget at the site, and that the science and  
18 engineering background that will be required for license  
19 application and after that probably will not be very much  
20 affected. Am I correct? Is that a correct interpretation?

21       ARTHUR: There have been other impacts, too, David. One  
22 has been we're reducing some of our indirects, some of the  
23 indirect work force associated with the program. So, it's  
24 not just at the site. Other areas are being impacted also.  
25 But, we are trying to transition into the right level of

1 engineering and design disciplines required for the license.

2 DUQUETTE: Okay, thank you. The second comment I had is  
3 it seems like the date of the license application hasn't  
4 changed independent of budget implications. Does that mean  
5 that you think you already have all the data that you need at  
6 this point for the license application?

7 ARTHUR: The answer is yes. I mean, most of the  
8 critical data we need right now is in analysis and other key  
9 areas. Other areas will be confirmation or other areas to  
10 support validation later.

11 DUQUETTE: Thank you.

12 ABKOWITZ: Abkowitz, Board.

13 John, I was interested if you could talk a little  
14 more about the expenditures for transportation during the  
15 current fiscal year. I gather it's probably one of the  
16 resource reduction areas. I've heard that the number is  
17 around \$5 million, which I guess represents just a hair over  
18 1 per cent of the DOE budget for the year for the Yucca  
19 Mountain project. Could you give us more details on that,  
20 please?

21 ARTHUR: Let me just give a snapshot, and I'm going to  
22 have Margaret, if you can, just add, why don't you give the  
23 specifics on transportation.

24 CHU: For '03, our original request for transportation  
25 was \$25 million. We only got \$5 million for this year.

1 ABKOWITZ: Abkowitz, Board.

2 I gather that that's an internal decision to  
3 allocate only 5 based on the reductions and the overall  
4 budget?

5 CHU: Exactly. It's an internal decision, yes.

6 ARTHUR: And if I can add onto that, I spoke in the  
7 replanning about essentially \$295 million of a \$460 million  
8 budget, \$457 million. We are still looking at the remainder.  
9 Out of that, I have roughly about \$75 to \$80 million  
10 associated in various cooperative grants, funding to  
11 counties, other key areas. We have a good amount with the  
12 federal, our program direction for our feds for salaries,  
13 travel, other areas, but all the analysis isn't done yet. I  
14 mean, we still do have some option in the remaining money to  
15 make some other changes if required.

16 Again, what we're trying to do here as we move  
17 across from '03 into '04 is set a foundation, and if we get  
18 additional funds, to accelerate other key work and lay out a  
19 budget that shows how we can do that.

20 LATANISION: John, two maybe points of clarification.

21 One of your comments related to the I guess it was  
22 slow-down or not full activity in terms of the preclosure  
23 safety issue. And I may not be using the right language  
24 there, but I know you said it was not at the pace you had  
25 expected, and you also commented that that was related to

1 design. And I'm curious if that means the project is re-  
2 thinking the closure design, or just what the implications of  
3 that comment were?

4       ARTHUR: What we're trying to do is stabilize some of  
5 the design areas. And in all fairness, Bechtel has been  
6 proceeding on this, but at the same time, with the funding,  
7 we had some work being deferred that otherwise we would have  
8 had done by now. So, one of the critical areas was award of  
9 a surface design subcontract to Bechtel that was issued last  
10 Friday to bring in some unique expertise to help with one  
11 critical aspect of how we handle the materials when they're  
12 in the waste handling building at the facility.

13               And when you really look at it, as I said earlier,  
14 it's a high majority of, or a majority of our preclosure  
15 safety analysis is associated with the surface design, so you  
16 need to have all that laid out before you can continue all  
17 the analysis.

18               So, I see, and Nancy can correct me if I'm wrong, I  
19 see that now at least we have things aligned with the design  
20 contractor that we can now complete that and keep things, get  
21 them back on track.

22       LATANISION: I see the point. And then, secondly, just  
23 one other comment. This refers back to the issue of the high  
24 temperature/low temperature operating mode issue. Your  
25 comment, as I understood, was that you expect it to operate

1 at temperatures below the boiling point. And I just want to  
2 be clear on what that means. Are you talking about the  
3 boiling point--in the pillars?

4 MR. ARTHUR: And we'll be covering more on that I think  
5 in later presentations. Go ahead.

6 LATANISION: That's the clarification I was looking for.  
7 Okay, thank you.

8 NELSON: Nelson, Board.

9 Let me just follow up because I was going to ask  
10 the question about the sacrosanct 81 meter spacing, which was  
11 established some time ago, I believe on 2-D modeling, with  
12 very little knowledge of the lithophysal properties. And  
13 even now, I myself don't believe we have a very well defined  
14 knowledge of the bulk lithophysal thermal conductivity  
15 properties, and other characteristics, yet we continue to see  
16 the 81 meter spacing. So, this may be a bit closer to  
17 velocity over the next 18 months and beyond, but for those  
18 two time frames, what is the project's attitude towards the  
19 81 meters? It could have cost impacts. It could have TSPA  
20 impacts. And maybe something to say about uncertainty, in  
21 addition to bottom line performance.

22 So, I'm wondering what is the project's attitude  
23 towards that 81 meters?

24 ARTHUR: I'm going to have to ask, if I can, Nancy to  
25 assist on that. In my mind, it's part of our baseline as we

1 proceed, but let me have her give you some words.

2       NELSON: Does that mean not to be visited until LA is  
3 done, or what?

4       ARTHUR: Nancy?

5       WILLIAMS: Yes, Priscilla, it is part of the current  
6 baseline. But the baseline will continue to evolve. We are  
7 still doing thermal analysis and will continue to do thermal  
8 analysis. What happens in the first panel layout, for  
9 example, is not necessarily how it's going to end up in years  
10 out, in Panels 2, 3 and 4. So, to the extent that we have  
11 greater insights, we'll modify the design, optimize it, et  
12 cetera.

13       NELSON: Nelson, Board.

14                At what point, just philosophically, is there an  
15 iteration is the design change substantial enough that it's  
16 going to trigger some reconsiderations of license application  
17 of NRC consideration? I mean, you may not change the basic  
18 pursticies, but you may change the uncertainty related to  
19 spatial issues. And it may be also on site investigation  
20 costs as well. I mean, there are many impacts. So, just is  
21 this--would you expect told hold the fort until the first  
22 panel is--performance confirmation is producing  
23 understanding, and then maybe make a change if it's  
24 warranted? What's the philosophy here?

25       WILLIAMS: I think you stated the philosophy well. I

1 think that right now, we are trying to stabilize the first  
2 three drifts, and NRC does have a process in 6344 to review  
3 changes to that design.

4       CRAIG: Paul Craig.

5           Over the last couple of years, as you moved closer  
6 to licensing, it's become clear that you're increasingly  
7 taking the position that the science is under control, and  
8 that it's stabilizing, which I must say is not in accord with  
9 my own observation. But, that's not what you're talking  
10 about. What I'd like to do is ask for something very  
11 specific in terms of budgets.

12           As you're making these major changes in budgets,  
13 the way in which you make those changes tells us a lot about  
14 how you're thinking about the program. I wonder if you could  
15 give us some budget documents that would break the budget  
16 down into major categories so that we can see how these have  
17 shifted and will shift in the next couple of years? You've  
18 given us overall budgets, but I'm looking for the whole  
19 package so I can put into a context.

20       ARTHUR: Remember the point I mentioned earlier about  
21 that NRC had some questions the other week about what is the  
22 current planning versus what's the impacts of this  
23 replanning. So, that's why I offered to share the  
24 information that shows some of the dollars associated with  
25 the programs and what's currently being deferred, and that

1 will include the various scientific or test programs also.

2       CRAIG: So, you'll provide that to us?

3       ARTHUR: Right. It will probably be about, I'm  
4 believing it's about two weeks until we owe it to NRC. So, I  
5 want to make sure, because the replanning documents, as we  
6 currently show it, doesn't reflect I believe what you're  
7 looking for, but we'll get that.

8               The other area I guess I'd add onto that, I hope by  
9 what I'm doing here, I'm not saying that test programs and  
10 science isn't important, what we're trying to do is get a  
11 balance. Everything couldn't be going on its current path.  
12 As I look at this, we had to make some pretty significant  
13 trade-offs, and you need to have staff to do the engineering  
14 and design, you need specific sub-contractors, you need to  
15 still get critical tests. So, what we're deferring is some  
16 things into the next several years that hopefully will pick  
17 up. But, also, as Margaret said, the work that Bob Budnitz  
18 will be presenting tomorrow, I mean, I hope that some day we  
19 get the right level of funds so we can accelerate some of  
20 these areas, or start them, I guess in some cases, and  
21 proceed. Because I have a vision of the future that through  
22 some of these programs, will have various outputs from the  
23 test programs and other scientific programs that will help us  
24 mature and learn things that right now, we can't even  
25 predict.

1           BULLEN: Bullen, Board.

2                    Could we go to your first figure, which is the  
3 management assessment of progress towards license  
4 application? I just have a couple of quick questions about  
5 that one. Specifically, I'm interested in, you know, the  
6 most heavily weighted factors being total system performance  
7 assessment and design. What level of completion would you  
8 expect to have attained by license application for each of  
9 those, and why do you think that's sufficient?

10           ARTHUR: First of all, by the time the license goes  
11 across, we would expect 100 per cent in both of those areas.  
12 And when I say percent complete on design, that's the amount  
13 of design that we will require for the license application.  
14 That's one of the key areas that we have a technical exchange  
15 with NRC this summer. You know, clearly, we don't expect to  
16 do 100 per cent design of the repository. We're trying to  
17 develop the right amount that's required for the safety  
18 analysis and other supporting for construction authorization.  
19 But to have that figure complete, will show 100 per cent  
20 design, but it might be of 30 or 35 per cent of the design  
21 itself. Is that clear?

22           BULLEN: Yes. And, actually, Bullen, Board again. The  
23 followup on the last question, if you'd look at your last  
24 figure where you talk about essentially in June, you're going  
25 to freeze the design requirements and boundary conditions for

1 engineering and design. Does that essentially freeze or lock  
2 in the operating mode that you're going to use, LTOM versus  
3 HTOM?

4       ARTHUR: Well, first of all, what we're trying to do is  
5 freeze the functional and operating requirements. I mean,  
6 design is still progressing up through, as I mentioned, May  
7 of '04, of next year. But, this will set some of the  
8 requirements. Some of the key decisions we will be making  
9 over the next six months will be decisions on things like  
10 omni directional transporter versus traditional rail.  
11 There's a number of areas that BSC/Bechtel put over to DOE  
12 either for decisions to be made or rendered over the next  
13 five to six months.

14       BULLEN: Bullen, Board.

15               Is there critical data that will be lacking when  
16 you make those decisions? I guess specifically, my concern  
17 is with respect to the cross-drift heater test, where you're  
18 not going to have the thermal conductivity of the lithophysal  
19 zones. And without that data, it's going to be real  
20 difficult to determine whether or not you've made the correct  
21 choice. And, so, how are you going to justify those kinds of  
22 decisions, I guess is the question?

23       ARTHUR: We'll have to defer more specifics to Nancy  
24 Williams.

25       WILLIAMS: Dan, we're really focusing on the surface

1 facilities when we talk about that. Is it one weld cell, is  
2 it two, is it three? What do the modules look like? What's  
3 the construction schedule for them? What's the waste stream,  
4 and those sorts of inputs.

5 BULLEN: Bullen, Board.

6 Maybe to followup. Nancy, maybe I misunderstood.  
7 I was looking at the design freeze for boundary conditions,  
8 and so if I'm freezing boundary conditions, aren't I freezing  
9 the design for the subsurface facility?

10 WILLIAMS: Well, right now, we're still at the  
11 conditions that you saw in the last layout. They have not  
12 changed. It sounds like you're thinking about boundary  
13 conditions more in the sense of the natural system  
14 boundaries. But, really, what we're focusing on here is  
15 trying to stabilize the surface facility design, of which  
16 there are many options to be considered.

17 BULLEN: Thank you.

18 ABKOWITZ: Abkowitz, Board.

19 John, you and Margaret have made extensive  
20 reference to quality assurance and culture building and  
21 integration, and so forth, and I think I'm a strong believer  
22 in all of those concepts, but I'm also aware that these  
23 things take time to gestate, and they're often sequential  
24 rather than parallel activities. And, so, as I think through  
25 the size of the organization and the complexity of the

1 problem and where you currently are, you've already kind of  
2 referred to this being pretty ambitious, I was wondering from  
3 your management experience, if it's unprecedented what you're  
4 dealing with now in terms of what you're trying to accomplish  
5 in that regard relative to the license application schedule?  
6 And if it's not unprecedented, could you cite another  
7 application where that type of success has been achieved?

8         ARTHUR: I think the five issues were laid out pretty  
9 well in the NRC meeting, the DOE/NRC management meeting the  
10 other week. And one issue that was referenced, first of all,  
11 was having 100 per cent quality built into the license  
12 application, good defensibility, models validated, all the  
13 right technical assumptions before the license going in in  
14 December of '04. And that's about what we've been talking  
15 about over the last half hour.

16             But outside of that, there were several other  
17 critical areas. First of all, safety conscious work  
18 environment. John Mitchell and myself issued, we started our  
19 first of a quarterly survey here recently from 25 per cent of  
20 our employees, asked about 10 questions about where things  
21 stand in their mind across the program. And it still shows  
22 that employees still have a real concern with the  
23 effectiveness of our corrective action program right now. It  
24 also shows a lot of employees, a majority have a problem  
25 raising a concern to their next level of management because

1 of fear of, you know, schedule or quality or other key areas.  
2 So, that's the kind of changes we're trying to make, and  
3 that's a benchmark. That's the first quarterly survey, and  
4 we're going to continue to watch our trends, and hopefully  
5 things improve.

6           Another area that was brought up is it was stated  
7 that, you know, there's been expectations set by previous  
8 managers, and many good folks throughout the program, but a  
9 lot of times consequences aren't felt if people all adhere to  
10 that, such as procedural compliance. Those areas can  
11 definitely be rectified. But, as I said earlier, it takes  
12 time, and then the way that Margaret and John Mitchell and  
13 myself decide to proceed is about six weeks ago, I guess it  
14 was, we called a meeting of all of our first and second line  
15 managers, you know, the federal people, the Bechtel/SAIC, the  
16 laboratories, everybody involved in this program, there's  
17 about 175 people, and set expectations. And we said we  
18 realize it's a tough challenge, but it can be done, and it  
19 has to be done. We get one chance to do this, and we want to  
20 do it correctly.

21           They then went back and talked to everybody over a  
22 one month period. All of our over 2,000 employees on the  
23 program had met with their supervisors. And then the last  
24 meeting, which occurred last week, John Mitchell and myself  
25 received feedback on some of the barriers. There still seems

1 to be this challenge about schedule and quality, and John did  
2 something very good this week. Out in Las Vegas, there's  
3 essentially the managers and others are seeing what their  
4 folks are talking about, you know, trade-offs, and how we  
5 build quality in the first time.

6           So, there's a lot of actions underway. There also  
7 have been some disciplinary actions. I always like to come  
8 out of an environment where I'm awarding the successes, but  
9 also when some just don't do it correctly, or there's  
10 violations, there has to be disciplinary actions. And that's  
11 starting to occur.

12           So, to go back to your point, I would say we're  
13 still upwards of a year or a year and a half to even show  
14 where things start visibly moving, and we're going to  
15 aggressively try to pursue that. That's what NRC said to us  
16 at the meeting the other week. They would like to not just  
17 see 100 per cent defensible license, but also the operating  
18 environment up to a higher level of quality by that time.

19           What I hope to show you, as well as NRC and others,  
20 in future meetings is where we stand on those metrics, some  
21 clear outcome based measures of what we're trying to do to  
22 monitor success. I have worked, I benchmark with others in  
23 industry. I have been involved in major changes like this.  
24 In some cases, it's taken upwards of three years. So, you  
25 know, we're trying to bring the best tools and the best

1 people in to help us through it. But, it means all 2,000  
2 people changing the way we operate.

3       CHU: I want to add a little bit about my personal  
4 benchmark. I came from the WIPP project, and I can only talk  
5 about the quality assurance program itself. It took WIPP  
6 about a year and a half to totally, you know, bring it up to  
7 where it's supposed to be. And then the starting point, my  
8 personal view for WIPP was probably lower than where we are  
9 now. So, that's the quality assurance, and this is my  
10 personal benchmark.

11               So, that's why I'm cautiously optimistic, and I  
12 think it's achievable when we all put our energy together,  
13 and make sure the troop understands its achievable.

14               Thanks.

15       ABKOWITZ: Abkowitz, Board.

16               As a followup question, could you describe the  
17 different challenges that you're facing with this program  
18 compared to the WIPP program, and how that may influence the  
19 comparison between the two?

20       CHU: One thing, I will say this program has orders of  
21 magnitude more external oversight. And sometimes it's good,  
22 sometimes it is distracting, to be real frank with you. So,  
23 with the WIPP program, I feel the challenges are very  
24 similar, the stuff that you're supposed to improve, you're  
25 supposed to improve, and then redo the procedures, or making

1 sure people follow, those things themselves are quite  
2 similar. Actually, it's the same in QA-1, QA requirements,  
3 exactly the same requirements, the same set of procedures,  
4 and stuff. So, I think the work itself is very similar. But  
5 the external things are quite different.

6         ARTHUR: I might add a couple. Margaret, if I could add  
7 just a couple other points of comparing them? The level of  
8 complexity on this program, having worked both, is much  
9 greater, I feel. I mean, the interactions, as well as the  
10 design and other areas is much higher complexity that what we  
11 dealt with at WIPP.

12                 The other area I wanted to leave you with, what I'm  
13 talking about today is not another plan. It's not another  
14 procedure. Granted, we have to change some procedures to  
15 make them a little bit more user friendly in a few areas.  
16 But everything is right here, and it's behavioral based.  
17 It's cultural change. That's what we're really trying to do,  
18 and we have some mighty fine people. I mean, I see them  
19 every day in my office. Everybody's heart is in the right  
20 place to make this program succeed. But, we're trying to  
21 just implant the fact that following those procedures to a T  
22 is very important. If you don't line that procedure, or have  
23 a problem, we have note, please call that person for either  
24 guidance or what's meant, but skipping it in this environment  
25 is unacceptable, because that just is like the weak link in a

1 chain on a fence, and it leads then to a credibility issue.  
2 So, I know we can get over it. It's just a time challenge  
3 that's pretty big.

4       CORRADINI: Can I just echo what Mark said? You  
5 mentioned five things, I thought I caught three, you said in  
6 the discussions with the NRC. Can you run through all five  
7 so I'm clear? Because that was actually very interesting.

8       ARTHUR: First of all, see if my memory is there. If  
9 not, my people will help me. The first area was the license,  
10 100 per cent quality into the license by the time it goes  
11 across to NRC. The next area, and these aren't in order of  
12 priority, I put this next one up to the highest priority,  
13 safety conscious work environment. Every employees feels  
14 they have an environment where they can raise issues and  
15 concerns to their supervisors, and they're dealt with in a  
16 timely manner.

17               A corrective action program was a key one to get  
18 one integrated plan program. Right now, we have several  
19 programs and we're trying to get those integrated. So,  
20 employees shouldn't have to worry when they have a concern  
21 about how the--does it go into what's called a SERS program,  
22 or is it a DR or corrective action. They should be able to  
23 get it out there, and then there should be another team that  
24 helps them broker it into the level of importance. So, it's  
25 a pretty complex program. The other part with corrective

1 actions, again, is timely closure of those.

2           So, license, safety conscious work environment,  
3 corrective action program, accountability, managers are held  
4 accountable for their actions, you know, awarded for  
5 successes, but also disciplinary actions occur where  
6 required. And then the last one is procedural compliance.  
7 That's the five areas.

8           CORRADINI: Thank you. Other questions?

9           DIODATO: Diodato, Staff.

10           I wanted to just follow up on Dr. Bullen's line of  
11 questioning with regard to the items closing June 3rd, in a  
12 couple weeks, two, three weeks now, freezing the design  
13 requirements, boundary conditions. And from what I  
14 interpreted from Nancy Williams' response, that was really  
15 mostly related to surface facilities, and didn't necessarily  
16 talk so much about thermal loading in the repository itself.  
17 That was still a matter of some discussion. Is that  
18 correct?

19           ARTHUR: That is correct. I mean, we could show to the  
20 letter what's in roughly the number of boundary conditions  
21 we're in the process of approving. But, Nancy?

22           WILLIAMS: That's correct. There are limitations right  
23 now on the heat output from the waste packages at 11.8  
24 kilowatts per package. We will be evaluating that going  
25 forward for operational flexibility purposes. The drift fall

1 temperatures and the profiles that you're going to see when  
2 the panel talks this afternoon still take you to the higher  
3 temperature operating condition after closure for about 1100  
4 years.

5 DIODATO: I see. So, the AMRs that are going to follow  
6 that are due August 3rd, I guess, the final, some of those  
7 have temperature dependencies; is that correct? The analysis  
8 and modeling reports.

9 WILLIAMS: It's still the same profile that you see up  
10 there; correct.

11 DIODATO: So, you don't need to worry about  
12 recalculating it if you change your thing, or--

13 WILLIAMS: Not at this point in time. But, if we so  
14 choose to do that downstream, we'll amend the license.

15 DIODATO: Okay. So, these are actually calculations,  
16 this is supplemental science and performance assessment  
17 temperatures here; is that correct?

18 WILLIAMS: Well, and followed up by the set of AMRs that  
19 are going through the system now to support the license.

20 DIODATO: But we shouldn't expect any change in these  
21 temperatures. These are the temperatures you're going to go  
22 to LA with?

23 WILLIAMS: That's correct.

24 ARTHUR: I might make a point, too, on this decision  
25 plan, on some of the dates. We are in the process of

1 realigning that against this replanning. So, everything  
2 isn't, you know, what you'll see in the July time frame. It  
3 may change over what I've presented. This one here, not over  
4 on the boards there.

5       CORRADINI: Okay, any other questions? Staff questions?  
6 I have one last one that you said, and you kind of bounced  
7 between--it goes back to one that Mark had asked, and that  
8 was you mentioned that transportation wasn't on your diagram  
9 of the red, yellow, white, green, yet the surface facilities  
10 are. And, I guess now I'm going to take an operational mode,  
11 I'm not going to worry about things 1000 years from now, I'm  
12 going to worry about things in ten years from now. It seems  
13 to me they're integrally linked, the surface facilities and  
14 the transportation mode and how all these fit together. Is  
15 that the purview of the new Director relative to waste  
16 management system, or is that within the purview of the  
17 design of the surface facility? Because just my own personal  
18 concern is that you take from Point A, you bring it to Point  
19 B, you unload it, you do something with it. You have to  
20 store it, you have to decide what to do with it, and all the  
21 logistics associated with that are not obvious. So, in whose  
22 bailiwick is that under the current arrangement?

23       ARTHUR: First of all, federal-wise, what the  
24 repository, the operations, including transportation, you  
25 know, into the repository, is under my purview at Las Vegas.

1 But, the Deputy Director that Margaret is in the process of  
2 hiring in Washington, the transportation national program, as  
3 well as Nevada Transportation will be under that individual.

4 But the point I want to make is regardless of  
5 people's responsibilities, the interconnects are going to be  
6 on the schedule. We've had a lot of discussions recently  
7 about if you look at how long it takes to build, should rail  
8 be selected, rail lines? You could assume in some cases the  
9 first year to two years would be truck transport just by  
10 capabilities to, you know, develop the right rail system.  
11 So, we're doing a lot of internal discussions.

12 Now, that's some of the systems optimizations that  
13 Margaret mentioned a little bit earlier. There's a whole lot  
14 of evaluations underway right now. But, our planning at the  
15 repository is, be it by truck or train, to have the right  
16 flexible facility to receive and emplace the necessary waste  
17 for disposal.

18 CORRADINI: Okay. So, just one followup, and that is  
19 that the--Mark said it better than I will, so I'll do it  
20 imperfectly, the human factor of properly explaining and  
21 allowing people to respond and then re-explaining and  
22 allowing people to respond, that whole aspect is a dynamic  
23 that the other part of the engineering systems won't see.  
24 So, have you figured in the time that that's going to take?  
25 Because the surface facilities and the ability to get them

1 from Point A to Point B at the surface facilities is very  
2 important. And actually the ability to do that and build  
3 confidence there by actually doing something rather than  
4 planning something or calculating something goes orders of  
5 magnitude.

6       ARTHUR: Right.

7       CORRADINI: So, is that being discussed?

8       ARTHUR: Right. And we'd be pleased to present that at  
9 a future meeting. I mean, there's a lot of discussions  
10 underway right now, as Nancy said, to get the surface design,  
11 you know, stabilized, get that completed and then the  
12 preclosure safety analysis. But with that, you know, things  
13 vary quite a bit, and that's a big complexity of WIPP. I  
14 mean, you looked there, we've have three true packs come in.  
15 They'd go in. We'd lift the lids, and out would come the  
16 containers.

17               Here, a lot of flexibility depends on is it Navy  
18 fuel, is it commercial fuel, and other areas about whether it  
19 goes into a staging area, whether it goes directly into the  
20 facility. So, we're doing a lot of optimizations right now  
21 to look, regardless of the transportation mode, that we have  
22 the flexibility in that first leg, and I say first leg of  
23 that repository surface design, that's the first one that we  
24 could, you know, design and fully construct to handle the  
25 material at the right ramp-up rates. And we'd be glad to

1 share that with you in time, because we're still maturing. I  
2 mean, every day there's a lot of trade-offs going.

3           The good news about that is, you know, that's past  
4 the license. We are looking at some of what it takes to  
5 operate this facility.

6           REITER: Leon Reiter, Staff.

7           John, you mentioned before something about seismic,  
8 and I think Budnitz, Bob, was going to do some stuff and  
9 you'd be looking at this after LA. At a Panel meeting  
10 several months ago, at which DOE presented some of its work,  
11 many of the people, DOE, consultants and DOE people  
12 themselves, presented the fact that the ground motions being  
13 used for the postclosure were very high, to the point of  
14 being physically unrealistic. And the intention was--my  
15 question is are you going to proceed with those kinds of  
16 motions to the license application, or are you going to  
17 modify them?

18          ARTHUR: Let me ask Nancy. And I'm deferring to her  
19 because they have responsibility on the license application.

20          WILLIAMS: Right now, we're taking parallel tracks on  
21 that. We are doing the analysis for the truly unrealistic  
22 motions, and we're doing what we're calling the saturation  
23 study to look at how much energy really can move through the  
24 system, and that's going to continue into early '04.

25          REITER: The question is do you intend to modify the

1 analysis to take those studies into account before LA or  
2 post-LA?

3 WILLIAMS: I would anticipate that that's information  
4 that will be available after the formal submittal. It will  
5 not be able to be factored into the AMRs. That's just due to  
6 logistics of the schedule and where we are in time right now,  
7 because that's an input. The information clearly will be  
8 available in time for discussions with the NRC.

9 CORRADINI: Other questions?

10 (No response.)

11 CORRADINI: I think we have a break. Thank you, John,  
12 very much.

13 We have a break for 15 minutes--20 minutes, and  
14 we're going to have the audio visual fixed.

15 (Whereupon, a brief recess was taken.)

16 DUQUETTE: Mike introduced me earlier. I'm Dave  
17 Duquette. I'm a member of the Board, and I'll be chair of  
18 this morning's technical session, in contradiction to the  
19 management session we had earlier.

20 As Mike said, and as indicated on the program, the  
21 Board has requested that the DOE describe the thermal aspects  
22 of the current repository design and operating mode, and how  
23 these aspects have been analyzed, and the results of those  
24 analyses.

25 To begin today's session, Bill Boyle from the DOE's

1 Office of License Application and Strategy will present the  
2 logic for evaluating engineered barrier systems.

3 Subsequently, Bo Bodvarsson--I'm going to pronounce it, I  
4 hope that's not too bad--Director of the Earth Science  
5 Division at Lawrence Berkeley will describe the character of  
6 the unsaturated zone. There will be a brief, a very brief  
7 question and answer period after Bill Boyle's presentation,  
8 and a longer one after the second presentation. We'll break  
9 promptly at noon and reconvene at 1:30. There will be an  
10 extended session for questions later this afternoon.

11           Our first speaker is Dr. William Boyle. He's the  
12 Director of the Postclosure and License Acquisition Division  
13 in the Office of License Application and Strategy, the Office  
14 of Repository Development. The Division is responsible for  
15 the preparation of the license application, the development  
16 of the total system performance assessment, and development  
17 of the underlying technical bases. At one time, Bill sat on  
18 the other side of the table and was in the NRC. He holds  
19 degrees in geology and in civil engineering from the  
20 University of California at Berkeley. And, Bill, I'll turn  
21 the session over to you.

22           BOYLE: Thank you for that introduction and the  
23 opportunity to make the presentation this morning.

24           I'll introduce a series of talks, and in these  
25 talks, as a project, we hope to show our logic for

1 understanding the engineered barrier system performance and  
2 why we are confident in our understanding of that  
3 performance.

4           Although the title focuses on the engineered  
5 barrier, you will also hear talks related to the natural  
6 system, because the natural system helps create an  
7 environment in which the engineered barriers must perform.  
8 And whenever I make a presentation like this, it's usually  
9 based upon the help from many others, and I'd like to  
10 particularly recognize Martha Pendleton for helping put not  
11 only this talk together, but the others, and also the people  
12 in BSC Graphics.

13           The objective of all these talks is through a  
14 series of integrated presentations. Dr. Chu this morning  
15 referred to it as an integrated story, to demonstrate our  
16 technical basis for the evolution of the in drift environment  
17 and the effects on metal degradation during the postclosure  
18 period.

19           Now, the talks today are going to focus in only on  
20 part of the problem, but it's most of the problem. We're not  
21 going to talk today about some of the events or processes  
22 that are certainly relevant, and we'll certainly have to talk  
23 about them in the license application. But some of the  
24 examples are listed in that sub-bullet. We're not going to  
25 talk today, for example, about the effects of seismic events

1 on the natural system and how that in turn might affect the  
2 environment that the engineered barrier sees.

3           This has already partly come up this morning in  
4 earlier talks. The license application will be for a hotter  
5 postclosure condition. However, we do maintain the  
6 flexibility to achieve cooler conditions in the postclosure,  
7 and I think most people know this, but I'll repeat it. We  
8 can, with the current design for the subsurface make it as  
9 cold as anyone wishes simply by running the fans for as long  
10 as necessary to achieve that condition. That's the prime  
11 means of achieving the flexibility, but there are other ways  
12 as well, including staging of the waste at the surface before  
13 it goes underground. But, the fans alone can do it.

14           A little caveat. The data and conclusions  
15 presented today are preliminary. As always, the final real  
16 story will be in our licensing basis documents, the analysis  
17 and model reports, and license application itself.

18           This is a busy slide. You're welcome to examine it  
19 at your leisure. All I really want to get across with it is  
20 that heat affects the natural system, which in turn affects  
21 the environment of the engineered barrier, in this case, the  
22 waste package, and it will affect the corrosion thereof and  
23 the performance thereof.

24           Next slide. Can you go past this one? No,  
25 actually we changed it. I think they're out of order in the

1 handouts. I want to talk about this slide first, and its  
2 cousins are shown throughout the room. There is one to my  
3 left, your right. There's another one over there. There's  
4 one right here to my right. And there is another one back  
5 there. At least, it's the center portion of these big charts  
6 that is reproduced here with minor variations. There was a  
7 little version control issue as we were rushing to put these  
8 together, but actually the differences might lead to very  
9 stimulating discussions later on.

10           The overarching purpose for these charts, if you  
11 will, and there's actually two different charts, was to use  
12 them as a means for communications, and also help our  
13 understanding and help others understand what it is that's  
14 happening in the drift as it evolves as a result of the heat  
15 affecting the natural system, which in turn affects the  
16 engineered barriers.

17           Now, I'll spend a little bit of time talking about  
18 this chart, because it is in everybody's handout. It's  
19 around the room, and the other speakers may refer back to it.

20           The Y axis is a linear axis of temperature. The X  
21 axis is a logarithmic axis of time. And the main thing  
22 that's being presented here, and as Dr. Diodato recognized,  
23 it is from the supplemental science and performance analyses,  
24 it's a plot of temperature versus time for two different  
25 waste packages, a hotter one, which is a hotter waste

1 package, it's the upper curve, and the cooler waste package,  
2 cooler because it has different heat output, is shown right  
3 there.

4           Now, these calculations were done for a specific  
5 location. This one chart in and of itself doesn't contain  
6 all knowledge with respect to the temperature of waste  
7 packages versus time. For example, we in this one chart do  
8 not represent the differences in temperature due to  
9 differences in location within the repository, you know, on  
10 the edge versus the center, but for a means of the purposes  
11 today to get across our understanding, it will certainly  
12 work.

13           So, the region between the hotter waste package,  
14 the upper curve, and the lower curve, is in purple here.  
15 It's in dark gray on the black and white slides, if you will,  
16 and it defines a rhythm, if you will, that goes across the  
17 chart, a purple ribbon.

18           Now, also what's shown on this slide are three  
19 temperature regions, an orange region that's, and again in  
20 the black and whites, all the colors, the different colors  
21 for the temperature regions look the same, so it's not only  
22 orange, but it's at the upper part of the diagram, and it  
23 represents hotter conditions that are typically dryer, and  
24 also typically where we are focused more on the natural  
25 system performance.

1           The blue, or lower part of the diagram, is cooler  
2 temperature, and generally speaking, wetter temperatures.  
3 And intermediate, in between is a tan color where it's  
4 intermediate in temperature and also intermediate in terms of  
5 moisture conditions we might expect. In the blue region,  
6 we're focused most, or more, on engineered barrier  
7 performance, and in the tan region, it's a mixture, if you  
8 will. We need more precise knowledge of both the natural and  
9 engineered systems.

10           Now, I'll say a little bit about each region. As I  
11 think you can see right here, the basic concept is is up in  
12 this orange region, we have protection of the entire waste  
13 disposal system largely through dryout. The heat has driven  
14 the water away, and we also lost a lot of moisture simply due  
15 to the ventilation before closure.

16           The blue region is an area in which the water will  
17 come back. It's cooler. The relative humidity will be  
18 higher, and there's increased chances of seepage in the  
19 drifts, if you will. But, our protection is supplied largely  
20 here simply by the characteristics of the Alloy 22. It's in  
21 a region, it means cooler temperatures, that it's based upon  
22 our knowledge to date that the corrosion is rather  
23 insensitive to our expected water conditions for these  
24 temperatures.

25           It's the tan region where there is a possibility of

1 water coming in, and the temperatures are such that we do  
2 need to understand the chemistry of the water in order to  
3 determine the corrosion behavior of the Alloy 22. That's the  
4 region of most interest.

5           You will notice that the color schemes here are  
6 gradational, that the orange tends to grade into the tan, and  
7 blue tends to grade into the tan, and you will also notice,  
8 and here's the difference between what's in your handouts and  
9 what's shown here, are these lines, these dash lines.  
10 They're shown as dash lines for a reason in that their  
11 absolute location is not known with certainty. And that's  
12 the purpose of the color gradation as well.

13           If we lived in a completely deterministic certain  
14 world, we would be able to draw some of these boundaries as  
15 straight lines at a known temperature. And one of the upper  
16 lines would represent a temperature such that any temperature  
17 above that we would be able to say there's no seepage.  
18 That's a line that would be located right about here. But  
19 one of these lower lines, and it's a question of, and this is  
20 the difference between this slide and the one in your  
21 handouts, is it's a temperature that below which we don't  
22 need to really be worried about the chemistry of a aqueous  
23 solutions sitting on the Alloy 22. It will largely be  
24 corrosion resistant. And the question is is does that line  
25 plot here, does it plot up here, does it plot at 100 or 10,

1 just where does it plot? And it's actually covered--it's all  
2 wrapped up in these slides right here, and how one wishes to  
3 fit a line to those data points, or draw a boundary line to  
4 those data points.

5           Now, I discussed with respect to a deterministic  
6 world, and if it were deterministic, if we could show that  
7 the no corrosion line was at a higher temperature than the no  
8 seepage line, then everything would be fine forever,  
9 essentially, if you will, that either both mechanisms would  
10 be working all the time, or would be working together some of  
11 the time, but in all cases, one or the other would be working  
12 for all time. And that is either the heat would be keeping  
13 the water away, or even if it weren't, we wouldn't need to  
14 really understand the aqueous chemistry of the water because  
15 for the given temperatures at which the seepage could occur,  
16 the corrosion wouldn't be an issue.

17           Now, we don't live in a deterministic world, which  
18 is why we shaded the colors and drew the lines as dashes, but  
19 the principle is still the same. The higher we move the no  
20 corrosion line and the lower we can move the low seepage  
21 line, the extent of this region in which we need to know both  
22 the chemistry and the temperature becomes smaller and  
23 smaller, both in time and also with respect to concern. Now,  
24 the remaining talks will deal with these three regions.

25           All right. How many people have never heard of

1 that word before, ternary diagrams? I'm here to explain what  
2 a ternary diagram is and how to interpret it and how to read  
3 it, because it will be used during the remainder of the  
4 talks. You can even see one on the chart right here. It's a  
5 graphical technique that geochemists use to help communicate  
6 their understanding of aqueous solutions, what's dissolved in  
7 them, and what might precipitate.

8           In this case, we're only showing three species, if  
9 you will, sulfate, bicarbonate, but in this case, it also  
10 represents all the carbonate present, you know, although the  
11 symbol is bicarbonate, we've also got actual carbonate  
12 accounted for there, and calcium.

13           Now, there's much more going on in the water at  
14 Yucca Mountain than just sulfate, bicarbonate, or carbonate,  
15 and calcium. But, through the use of this simple diagram, we  
16 can get most of the story, just using these three species.  
17 Dr. Bodvarsson will mention in a later slide how many we  
18 actually keep track of in our calculations.

19           For those that are more mathematically inclined,  
20 instead of geochemically inclined, you can think of this  
21 diagram as like the first ordered term of the Taylor Series  
22 Expansion. It's a lot of the answer, but it's not the  
23 complete answer.

24           So, what are we showing here? There are three  
25 vertices, sulfate vertices, bicarbonate/carbonate, calcium.

1 There is also opposite each of the vertices is a base, if you  
2 will. You're just going back to simple geometry. So,  
3 opposite the sulfate vertex is this base over here. And  
4 parallel to that base are a series of lines. At the vertex  
5 itself, it's 100 per cent sulfate in this case. At the base,  
6 it's zero per cent sulfate, and each one of these parallel  
7 lines represents an increase in 10 per cent of concentration  
8 of sulfate. And, similarly, there's 100 per cent calcium, 90  
9 per cent, 80 per cent, 70 per cent, all the way down to zero  
10 per cent.

11           Also on this chart right here, equal parts calcium  
12 and carbonate, right there gives you calcite, and there's a  
13 blue line that goes over here to the sulfate vertex and what  
14 we need to know is is that in this triangular region down  
15 here, precipitation of calcite alone will remove all the  
16 calcium from the system.

17           If we are above the blue line but below the red  
18 line, this point here is gypsum, equal parts calcium and  
19 sulfate. This over here remember is calcite. Below the red  
20 line, we can remove all the calcium from the system simply by  
21 the precipitation of gypsum and calcite. Above the red line  
22 there is excess calcium, if you will. We cannot remove it  
23 simply by precipitation of calcite and gypsum.

24           Now, calcium itself is really of no concern for us.  
25 It's just a proxy, a stocking horse for the things that

1 remain. If we have precipitated sulfate and carbonate,  
2 bicarbonate, the things that remain include chloride,  
3 fluorine, things that are of concern to us, but also all the  
4 other species that aren't represented on this chart, nitrate,  
5 phosphate and many others. But, as you proceed up here and  
6 you've lost the sulfate and bicarbonate, this region tends to  
7 be more corrosive.

8           Now, what else does the chart show us? What we  
9 have here is, for the most part, pore waters from two  
10 different broad geologic units out at Yucca Mountain. The  
11 green squares are pore waters, and their composition is from  
12 the Paintbrush tuft, non-welded unit above the repository  
13 horizon. The red triangles and blue circles represent pore  
14 waters from the Topopah Spring unit, the repository horizon  
15 itself.

16           What you'll see in the later talks is from these  
17 initial conditions out of the waters evolve through  
18 evaporation and dryout. An initial water will tend to  
19 migrate on this chart as various solids are precipitating.

20           Now, getting back to--this chart doesn't show  
21 everything--you'll see that some of these repository waters  
22 are plotting up in the seemingly more corrosive area, and in  
23 later talks, you'll hear why these really aren't corrosive  
24 for our conditions, and it's because of the other species  
25 that aren't shown on this chart, in particular nitrate, they

1 help take care of how corrosive the water actually is.

2           Another important point to remember from this chart  
3 is the starting points of the non-welded unit pore water is  
4 different from the Topopah Springs pore water starting point.  
5 And it's important to remember you can't make a sow's ear  
6 out of a silk purse in this case. That is, where you end up  
7 on this chart is, in part, determined by where you start on  
8 the chart.

9           This is what you're going to hear for the rest of  
10 the day. You're going to hear a talk from Dr. Bo Bodvarsson  
11 from Lawrence Berkeley National Lab, and he'll talk more  
12 about the natural system, the character of the unsaturated  
13 zone, and how it's affected by the heat.

14           You'll hear a presentation by Dr. Mark Peters of  
15 Los Alamos National Laboratory. This is the marriage of the  
16 natural system and its effects on the engineered system.  
17 And, finally, you'll hear a talk from Dr. Joe Farmer of  
18 Lawrence Livermore National Lab on the materials'  
19 performance, that given the conditions that are created in  
20 the drift, what happens to the engineered barrier.

21           With that, that's my last slide.

22           DUQUETTE: Thank you. Because these are introductory  
23 comments and most of the other talks are going to be keyed to  
24 this, I'm going to ask the Board to only ask questions of  
25 clarification at this point, because there's an extensive

1 discussion period after each of the other papers. And, so,  
2 are there any questions from the Board on clarification of  
3 what Bill has said?

4 CERLING: Cerling, Board.

5 On your ternary diagram, which was the last one?

6 BOYLE: Right. The triangle diagram?

7 CERLING: Yes, the triangle one. Presumably those are  
8 molar concentrations. And, so, what I'm wondering, because  
9 you take--I guess my question is are these molar  
10 concentrations or equivalent concentrations? Because it  
11 takes two moles of bicarbonate to get a calcium. And, so,  
12 I'm wondering if the blue line is really correctly plotted.

13 BOYLE: Right. Well, to tell you the truth, it used to  
14 be plotted somewhere else. And what Professor Cerling is  
15 getting at, and this is really off into the details that  
16 interest the geochemists, there's a difference in these  
17 charts if you keep track of moles. That will be a challenge  
18 for people to go back to their chemistry. Or you keep track  
19 of the species in equivalents, and they're not the same.

20 And the original charts, actually, as it was  
21 explained to me, were plotted in terms of equivalents, and  
22 the calcite point was up here two-thirds of the way along  
23 this base between bicarbonate and calcium. So, it does make  
24 a difference apparently if you plot these as moles or as  
25 equivalents, and the experts in this case, and I am not an

1 expert in this diagram, have chosen to plot it here.

2           But, whether or not it's correctly plotted I will  
3 defer to the experts, but for some of the purposes of the  
4 conversation today, whether it's here or up here, then this  
5 blue line would shift, but what wouldn't change is if you are  
6 below the blue line, you could get rid of all the calcium, if  
7 you will, simply by precipitation of calcite.

8           Now, it's also my understanding that although these  
9 can be drawn differently, they actually would tell the same  
10 story in an understanding sense. One can chose moles or  
11 equivalentents, apparently, and in this case, they have chosen  
12 this representation.

13           Does that help? I hope that helps for the  
14 audience, and I hope it helps for Professor Cerling. The  
15 experts who drew this aren't here, and I actually recreated  
16 this by hand myself, the earlier version when they were using  
17 equivalentents when the calcite point was up here, and I was  
18 quite comfortable with it, but they decided to switch to  
19 this, and I have not bothered to recreate it by hand.

20           CORRADINI: Corradini.

21           I had a question about the other figure you had,  
22 the multi-colored, multi-faceted. That one. The purple  
23 band, you said it quickly and I didn't catch it. I was  
24 trying to write it down. You said the upper part of the  
25 purple band is one canister power, and the lower part of the

1 purple band is another canister power. Did you tell us what  
2 those were? I forgot.

3 BOYLE: No, I didn't. I would have to ask Jim Blink.

4 CORRADINI: Is it a factor of two? Is it approximately-  
5 -what are we talking about there?

6 BOYLE: You know, I don't know. Jim is in the audience.  
7 There he is. Jim Blink of Lawrence Livermore National Lab.  
8 These results are from the supplemental science and  
9 performance analyses published about two years ago.

10 BLINK: The top one is the design basis waste package in  
11 the SSPA, of the order of 12 kilowatts, as I remember, 12 or  
12 14, something like that per waste package. And the bottom  
13 one is a high level waste package, which is a kilowatt or so.  
14 So, it's considerably different.

15 CORRADINI: So, this is an order of magnitude?

16 BLINK: But the waste packages share heat with each  
17 other. So, it's not fair to treat them as the whole  
18 repository being one or the other.

19 CORRADINI: Just so I'm clear, so the lower part of--so,  
20 two questions, or two clarifications. So, one, this is  
21 totally power uncertainty. This is not engineering  
22 uncertainties?

23 BLINK: That's correct.

24 CORRADINI: That's question one.

25 BOYLE: There's a whole lot of uncertainties not

1 represented here.

2       CORRADINI: Okay. And then question two is the power  
3 uncertainty as described, this is the whole field of these  
4 things at one kilowatt versus 12 kilowatts, or an inter-  
5 mixture would create the variation?

6       BOYLE: My understanding is is that in the SSPA  
7 calculations, it was a line load of some given power density  
8 per meter, and that given power density per meter was  
9 generated by an inter-mixing of waste packages with different  
10 heat outputs.

11       CORRADINI: Okay. All right, thank you. And then  
12 second--or the third clarification is the peaking, the  
13 characteristic of the peaking is totally driven by the fact  
14 this is a closure at 50 years?

15       BOYLE: Yeah, whenever the--if it states that on there,  
16 then that's right.

17       CORRADINI: Well, I just assumed it since you started  
18 everything at 50 years.

19       BOYLE: Right. It's the higher thermal operating mode  
20 results.

21       CORRADINI: Okay, thank you.

22       BULLEN: Bullen, Board.

23                Since I'm limited to questions of clarification, I  
24 do have a question of clarification. If you look at the  
25 dotted lines that you called our attention to, and compare

1 the projected version versus the hard copy here, you have a  
2 couple of boundaries, one with threshold, that one exactly  
3 where you set it for the project, and the project sets it at,  
4 what is that, about 135, 140?

5 BOYLE: I think it's 140.

6 BULLEN: 140. And yet over here, it's set at 110.

7 BOYLE: Right.

8 BULLEN: And, so, can you describe for me the evolution  
9 of the process of where you set that threshold?

10 BOYLE: Discussions, and I don't even know that it's  
11 finally set yet, and Joe Farmer will bring it up.

12 FARMER: Some of this has to do with materials,  
13 measurements that have been made. I think the older version  
14 that I think Bill showed you on the chart, shown on the  
15 viewgraph projector, or the lap top projector, those are  
16 older data and those correspond to measurements that we  
17 showed you back around the first of the year. And, frankly,  
18 the charts shown on cardboard are the more recent data.

19 One of the criticisms that we received in January  
20 was that we needed to fill in the data. So, during break, or  
21 if you want to come up, we can show you we collected  
22 substantially more data since the January presentation, and  
23 we now are able to identify things such as the threshold  
24 temperature for crevice attack of the Alloy 22 with greater  
25 certainty that we could in January. So, the chart that Bill

1 has on the overhead projector is a much older slide with  
2 older data. The ones on the posters are the more recent and  
3 probably the ones that you should really pay attention to.

4       CORRADINI: Are there other Board questions? Paul?

5       CRAIG: This is Paul Craig. This is more in the nature  
6 of an observation.

7               This morning, we heard about how programs are being  
8 shut down and the science programs are being shut down in  
9 particular, and now we're seeing data which appears to me to  
10 be critical data, which is very recent, within the last six  
11 months or so, which suggests to me that maybe the science  
12 remains unstable even at this time, and there's a real risk  
13 of not collecting new science because there may be a lot more  
14 to be learned. This is not a new message. This is a message  
15 with the program for many years, and I don't know whether you  
16 have a response to it. Because if you don't collect  
17 knowledge, then you don't learn about problems. That's  
18 certainly a way to be safe.

19       BOYLE: And I'd just like to point out that although we  
20 did suffer a large cut in funding, \$134 million, that still  
21 left \$400 plus million to look into science, engineering, and  
22 everything else, pay federal salaries, travel, everything  
23 else that's done, but there still is a lot of money left for  
24 science, not only this fiscal year, but in all the  
25 intervening, you know, the succeeding years, there is a

1 commitment. You've heard from Dr. Chu I think first a year  
2 ago this month at this meeting, her commitment to science,  
3 but also in the regulations, there's a commitment to science  
4 and further understanding.

5       CORRADINI: Staff questions? Carl?

6       DI BELLA: Yes, I think you said that this is not the  
7 latest chart. The latest chart is the ones on the easels,  
8 and that we are going to be referring to those later on in  
9 the presentations. But, still I have a question about this  
10 particular chart. There's a note there sort of in the center  
11 of the chart way over to the right saying threshold  
12 temperature of the localized corrosion in calcium chloride  
13 brine, conservatively recommended by others. Who are these  
14 others that are doing testing in calcium chloride brines? I  
15 don't want to know what their temperatures are, but who's  
16 doing this testing?

17       FARMER: Well, I will try to answer that question.  
18 First of all, again reinforcing that this is an older chart,  
19 and actually this is the original graphics draft that we put  
20 together, and when we said recommended by others, frankly, we  
21 put in numbers that were recommended to us by this Board in  
22 January.

23               So, for example, we came to you and said, well--

24       DI BELLA: Based upon testing?

25       FARMER: Exactly. If we plot these data points up in a

1 straight line, you know, they intersect at 140 degrees  
2 centigrade, and you very correctly pointed out that there  
3 were relatively few data points, and that a slight shift in  
4 the slope could have a dramatic impact on one's conclusions.

5           So, in trying to put together our draft chart,  
6 which Bill is showing you, we wanted to reflect the fact that  
7 our simple minded linear plot was not the grand sum total of  
8 all human knowledge having to do with the subject. So, we  
9 put that on the chart, and what you'll see in the later  
10 versions, and we actually have handouts that we'll give you  
11 that each Board member will get a commemorative copy of these  
12 posters, but basically what we show you in these later  
13 versions of the chart is that we have in fact gone and  
14 collected more data and we now have actually identified these  
15 temperatures with a much greater degree of confidence than we  
16 could in January.

17           So, a lot of hard work and a lot of effort has gone  
18 in between January and this point to try to better define  
19 these thresholds. And as a result of that, you see that  
20 those dash lines that are in the original draft that Bill was  
21 showing you on the screen have moved, and they're now  
22 located, again to the best of our knowledge today, as they're  
23 shown on the easels.

24           LATANISION: Just a followup. Latanision, Board.

25           I think in terms of the timing, after the January

1 meeting, the Board did visit the folks in San Antonio at  
2 CNWRA, and my recollection is that they had shown us some  
3 data that did indicate a much lower threshold. Now, I  
4 suspect we'll hear some of that tomorrow from Gustavo  
5 Cragnoilino.

6       FARMER: That's correct. And what we will show you  
7 today is we've collected similar data. We'll also show you  
8 today some long-term corrosion potential data that extends  
9 out over one and a half years, and I think as we converge on  
10 what we believe to be the correct answer, we believe you can  
11 operate certainly the base metal, the unwelded base metal, up  
12 to around 100 degrees centigrade, which coincides with the  
13 boiling point. And Bo will show you that above the boiling  
14 point, we expect relatively little seepage into the drifts.

15       So, we would like to lay out for you today this  
16 whole story and tie the environment to the waste package.

17       LATANISION: Latanision, Board.

18       I'm sure we'll come back to this, Joe, but you said  
19 something very important, and that was unwelded.

20       FARMER: That's correct. We'll show you data today in  
21 the fourth presentation in the series of four that will  
22 illustrate for you the change in corrosion potential with  
23 time for both base and weld metal.

24       LATANISION: Good. Thank you.

25       DUQUETTE: I think we're violating my game rules. We're

1 getting beyond questions of clarification, and, so, I'd like  
2 to keep us on schedule and go to the next speaker, please.  
3 And that's Dr. Gudmundur Bodvarsson, known as Bo. He is the,  
4 at Lawrence Berkeley Laboratory, he is the lead for the Yucca  
5 Mountain project, and Director for the Earth Sciences  
6 Division at Lawrence Berkeley. His research specialties are  
7 geothermal reservoir engineering and nuclear waste disposal.  
8 He holds degrees in mathematics, physics, civil engineering  
9 and geological engineering.

10           And, with that, Bo, I'll turn the floor over to  
11 you.

12           BODVARSSON: Thanks a lot, and good morning, everyone.

13           Like the Chairman said, my name is Bo Bodvarsson,  
14 forget the long name here, it's just Bo, very simple, and I'm  
15 from Lawrence Berkeley Lab, and I'm going to give the first  
16 of the three technical talks. I'm very pleased that Bill,  
17 Dr. Boyle, I guess introduced us very properly.

18           My job is to take a look at the rock, and then Mark  
19 Peters is going to look inside the drift, and then Joe Farmer  
20 is going to look at the waste package.

21           Why is all of this important? Why do we need to  
22 look at the rock or waste package corrosion rates? And the  
23 simple answer to that obviously is that the pore water that  
24 may go into the drift contains chemical components that are  
25 found in the pore water in the rocks. So, we have to start

1 by looking in the rock, then look at the water as it goes  
2 into the drift and vaporizes, and then look at the conditions  
3 around the waste package. So, that's my job.

4           I am going to talk about the unsaturated zone. I'm  
5 going to give you a little background about the unsaturated  
6 zone, and then go more into the specific issues, which is  
7 basically how much water is going to seep into the drifts and  
8 when. And what is going to be the chemistry of this water  
9 that's going to affect the environment around the waste  
10 package?

11           This work represents a lot of people that work on  
12 the unsaturated zone, both at all the labs, and the U.S.  
13 Geological Survey.

14           My outline is very simple. I'm going to tell you a  
15 little bit about the unsaturated zone, the geology and what  
16 data we have collected. I'm going to tell you about the  
17 conceptual model understanding of seepage and coupled  
18 processes, because this affects water going into the drifts  
19 and the chemistry of those waters. I'm going to tell you  
20 about thermal hydrological processes and seepage during the  
21 thermal period. Then I'm going to talk to you about the  
22 chemistry, starting with the chemistry of the pore waters,  
23 how they evolve during boiling and condensation, and what can  
24 possibly go into the drifts. And then I'm going to summarize  
25 and conclude.

1           So, first before we look at coupled processes, we  
2 must understand how much seeps during the ambient non-thermal  
3 period, and what is the chemistry of those waters, and I'm  
4 going to start by telling you a little bit about that. Then  
5 later on, I'll tell you the chemistry of those waters,  
6 because the chemistry of those waters may be different from  
7 the in situ pore water chemistry. Then I'm going to tell you  
8 about the thermal period and the boiling and condensation  
9 effects, and I'm going to argue and I'm going to tell you  
10 that very little water will actually seep during the thermal  
11 period. And I'm going to show you evidence why we think  
12 that's correct.

13           Then I'm going to tell you a little bit about if  
14 something would seep into the drift, what would be the  
15 chemistry of that water during the thermal period. So, those  
16 are the things I'm going to tell you about. And then, of  
17 course, Mark will take this chemistry and this water inside  
18 the drift and look at the thermodynamic changes, and then an  
19 overlook of actually the corrosion rates next to the waste  
20 package, at the waste package.

21           Now I'm going to tell you a little bit about the  
22 unsaturated zone. And here, you have our site scale model,  
23 which is a three dimensional numerical model that calculates  
24 flow and transport and thermal and chemistry in the  
25 unsaturated zone. You see it's very fine-gridded, in the

1 repository area, which is located here. You see also the  
2 exploratory studies facilities, the tunnels and where we get  
3 all of the data from. Then you take a cross-section, north-  
4 south cross-section, and you get something like that where  
5 the model actually reflects, of course, the topography, the  
6 layering, faulting, and all of the details of the unsaturated  
7 zone.

8           You see in this north/south cross-section the  
9 proposed repository is only in the lower lithophysal rock.  
10 If you could take a cross-section east/west, you will see  
11 part of it in the middle non-lithophysal and other rock  
12 units. But this is by far the most predominant, about 80 per  
13 cent, of the repository is going to be in the lower  
14 lithophysal.

15           This is just to give you a little view about how  
16 small volume of this rock mass the drifts actually occupy.  
17 The drifts are about 5 1/2 meters in diameter. It's about 81  
18 meters between drifts. So, in this very small unit here, you  
19 see that the drifts occupy a very, very small part of the  
20 rocks after you have drilled the emplacement drifts.

21           This just shows you the tunnels where we do a lot  
22 of testing, and just to point out the heater test, which is  
23 really the most important test for the coupled processes, is  
24 located in Alcove 5 around here. But we have done seepage  
25 tests that I'm also going to talk about in various niches

1 located in different repository units.

2           Now, I'm going to start with seepage and coupled  
3 processes, and our conceptual understanding with reference to  
4 that. And if anytime you have questions, I don't mind, if  
5 the Chairman doesn't mind, you can ask. Feel free to ask.

6           The seepage into the drift has been studied for  
7 about five to six years now where we do very simple but very  
8 effective tests. Here, you have a niche with a drift. You  
9 drill bore holes above the niche. You put water into the  
10 bore holes, and then we measure how much of this water we put  
11 into these bore holes actually seeps into the drifts, and  
12 what fraction then goes around the drift.

13           Why is this concept important? It is important  
14 because the drift is a capillary barrier. Water does not  
15 want to go into big openings. Water wants to stay in the  
16 fine grain material. That's what surface tension is all  
17 about. That's what capillary pressure is all about.

18           Why is that important? It's important, if no water  
19 enters the drift, then we have much less problem with  
20 corrosion rates. We have great difficulty mobilizing the  
21 waste when the waste packages fail, and we have great  
22 difficulty actually transporting the waste to the  
23 environment. So, water going into the drift is a key.

24           Water, we find out, you can look at this graph  
25 here, first of all, our average water flow through the

1 mountain is about 5 to 10 millimeters per year, which is a  
2 tiny amount, just like that per year, a very small amount.  
3 We cannot test seepage under those conditions because (a)  
4 nothing is going to seep, and (b) at these low rates, the  
5 tests just take way too long. We cannot wait thousands of  
6 years to see if something seeps, which it won't.

7           So, what we do, as you see here, we carry out this  
8 test at much higher rates, and you see here 1.2 million  
9 millimeters per year, going to 300,000, going down and down  
10 and down. What this demonstrates clearly is that you have a  
11 capillary barrier effect, and a capillary threshold below  
12 which if you have a percolation flux much below 8,000  
13 millimeters per year, you will get no water into the drifts,  
14 no seepage of any kind.

15           We find that for most of these units, the lower  
16 lithophysal and the middle non-lithophysal, the seepage  
17 threshold is on the order of a thousand millimeters per year,  
18 which is 200 times, roughly, the current percolation flux.  
19 So, that says that under current conditions, we will have no  
20 seepage into any of the drifts unless you have a huge fault  
21 where a lot more water is going through them. So, this is a  
22 very important concept.

23           BULLEN: Bullen, Board. Just a quick question to follow  
24 up on that.

25           What kind of heterogeneity did you have in the rock

1 structure when you did these kinds of experiments? Did you  
2 have an active fracture that was flowing, and the matrix?

3 BODVARSSON: Yes.

4 BULLEN: Basically, so you had both matrix and fracture  
5 flow that was occurring in these tests, and so that's where  
6 you came up with the numbers?

7 BODVARSSON: The degree of heterogeneity at Yucca  
8 Mountain covers four orders of magnitude in the fracture  
9 system. Basically, whenever you take permeability  
10 measurements, they range from an upper limit of from 100  
11 darcies, and a lower limit of a millidarcy. Four orders of  
12 magnitude. The same variability we see in our seepage tests.  
13 We do air-K tests at different intervals so they reflect the  
14 degree of heterogeneity that the whole mountain reflects,  
15 which is four orders of magnitude.

16 We do seepage tests at intervals, some of it is  
17 very low permeability, other ones are very high permeability.  
18 We have seen, as you suggested, a definite indication of  
19 where we can actually map a fracture directly from one of  
20 these intervals straight to the ceiling of the niche, and see  
21 actually seepage through that feature. So, I think most or  
22 all degrees of heterogeneity that we see in the mountain are  
23 reflected in our seepage dataset. So, this is a very  
24 important concept, a thousand millimeters per year, 200 times  
25 more than the current one.

1           So, one can argue that perhaps no water can ever  
2 seep into the drifts. It's very important. Here's some of  
3 the instrumentation that we actually used to test seepage.

4           Prior to, during and after each test, we do  
5 predictions, we do calibrations, and we do validations of the  
6 models. Prior to the test, we predict where we expect  
7 seepage to occur. This is the model run that shows a  
8 heterogeneous permeability field. Those are the different  
9 colors reflecting different permeabilities. The four orders  
10 of magnitude we measure are reflected in our models. You see  
11 here progressing timewise, a test where we inject in the  
12 beginning, and you see it starts to spread, and then it  
13 starts to go around the drift because of the capillary  
14 barrier effects.

15       CORRADINI: Corradini, Board.

16           So, let me ask, so how did you get the orange and  
17 the light orange? Did you just, what shall I say, randomly  
18 select it? You didn't measure this?

19       BODVARSSON: This follows up a question by Dr. Bullen,  
20 and what we do is we measure systematically in all of the  
21 boreholes with packer tests air permeabilities. We get from  
22 that a frequency versus permeability diagram that says this  
23 is what this is, the percentage of the rock that has this  
24 permeability, this is the percentage of the rock that has  
25 this permeability. You get the correlation length.

1 Correlation length says that the distance between an area of  
2 low permeability to an area of high permeability is this many  
3 meters, or this many feet. Using all the statistics, we  
4 randomly occupy this volume of rock with those statistics  
5 that realistically then reflect the heterogeneity of the  
6 medium.

7       CORRADINI: So, to say it back to you so I've got it  
8 right, so you create a unit cell, which you think you've  
9 characterized, and then you replicate the unit cell randomly?

10       BODVARSSON: Yes, except a unit cell implies one  
11 permeability.

12       CORRADINI: No, no, I meant the unit cell may have  
13 heterogeneity in it, but you try to characterize the unit  
14 cell, and then you replicate that unit cell throughout the  
15 rock?

16       BODVARSSON: Yes.

17       CORRADINI: Okay. Second question then is what do you  
18 do about the surface of the tunnel?

19       BODVARSSON: The surface of the tunnel here?

20       CORRADINI: Yes.

21       BODVARSSON: What do you mean what do you do about the  
22 surface?

23       CORRADINI: I mean, is it perfectly smooth? Does it  
24 have roughness? What's the length scale of roughness?

25       BODVARSSON: The surface of the tunnel, because this is

1 drilled out, it has some roughness to it. This roughness of  
2 the tunnel is reflected on our test results that we showed on  
3 the last slide. So, all of the data reflect the roughness of  
4 the surface of the tunnel. We have not found that this  
5 roughness of the surface matters a heck of a lot in the  
6 seepage calculations.

7       CORRADINI: Oh, you haven't?

8       BODVARSSON: No.

9       CORRADINI: So, let me turn the question around and then  
10 I'll stop. So, if I take a ping-pong ball size length scale,  
11 tennis ball size length scale, or basketball size length  
12 scale, that doesn't affect the seepage on the surface?

13       BODVARSSON: No. You are very correct about that. What  
14 I was saying is that if you had a tennis ball, and if you  
15 have a very fine smooth surface versus a little coarser, the  
16 seepage is not significantly altered. When you go from a  
17 golf ball to a tennis ball to a basketball, what's bigger  
18 than a basketball? Beach ball. The seepage characteristics  
19 are different, because the scale is  $1$  over  $R$ , where  $R$  is the  
20 radius of the ball, so the bigger the opening, the more  
21 percentage seepage you will get. But that's all taken care  
22 of in both our analytical and numerical work.

23               Did I answer your question okay?

24       CORRADINI: Yes.

25       BODVARSSON: Yes, sir?

1           PARIZEK: Parizek, Board.

2                   While we're on that diagram, the solid orange on  
3 the bottom, these explanations, because you have a scatter of  
4 points on the right and above, but the solid seems like it's  
5 all drying out, is that based on measurements?

6           BODVARSSON: Which one are you talking about now?

7           PARIZEK: Underneath the--

8           BODVARSSON: This thing here?

9           PARIZEK: Yes. Right. Is that a drift shadow, in other  
10 words?

11          BODVARSSON: This is just a little--I think it's just  
12 the color scheme. This has the same heterogeneity, and I  
13 apologize. There should be nothing different there from the  
14 rest of the rock. So, I apologize for that figure. It's a  
15 good question.

16          CERLING: Cerling, Board.

17                   Does this mean that in the initial conditions, that  
18 the saturation of the pores is near zero per cent, that is,  
19 you're starting out with a perfectly dry rock?

20          BODVARSSON: I apologize for that again. This is  
21 actually the fracture system. The fractures themselves are  
22 very dry. We estimate that about 5 per cent saturation in  
23 the fracture system. This is the heterogeneity of the  
24 fracture system. But, actually, the rock mass itself has 80  
25 to 90 per cent saturation. So, it's almost fully saturated

1 with water. These calculations, since our testing is so  
2 close to the drift, are dominated by the fracture continuum,  
3 and the matrix continuum has very little effect on these  
4 measurements, because the matrix permeability is orders and  
5 orders of magnitude lower than that of the fractures.

6 Does that answer your question?

7 CERLING: Yes.

8 NELSON: Just to close the circle there. Nelson, Board.

9 The application of the capillary barrier concept is  
10 classically based on certain assumptions that have to do with  
11 homogeneity and matrix porosity. And, so, you're running  
12 this test and interpreting it where the saturations we're  
13 looking at, this is all fracture porosity, and saying that  
14 the seepage that you see actually is related to capillary  
15 barrier effects. So, you're assuming here that the capillary  
16 barrier effects, the concept is valid for fractures as well  
17 as for matrix? Yes?

18 BODVARSSON: Yes.

19 NELSON: Is there any other work in the literature that  
20 has dealt with this idea of developing capillary barriers in  
21 fractured media as opposed to matrix porosity, homogeneous  
22 continuum materials with smooth surfaces?

23 BODVARSSON: That's a good question. Let me answer it  
24 this way. The capillary barrier phenomenon was developed by  
25 Phillips in the Sixties. For a homogeneous medium, you're

1 absolutely correct, for a homogeneous medium. Since then, it  
2 has been applied to all types of mediums, including coarse  
3 sands, to very fine grain material with different capillary  
4 characteristics, ranging the whole spectrum, if you will. It  
5 is, without a doubt, proven I think that the capillary  
6 phenomena works regardless of what the medium is, but of  
7 course the more and stronger capillary forces prevail in the  
8 rock mass the stronger capillary barriers you will have.

9           You can look at the fracture system as a coarse  
10 grain sand or gravel that has capillary suction much, much  
11 less than that of the matrix, which has tiny, tiny pores and  
12 capillary suction potentials of tens to hundreds of bars.  
13 The fracture medium has very little capillary suction  
14 potential, but it still is a very effective capillary barrier  
15 in spite of that.

16           Going to the last slide, just one more sentence,  
17 this thing here clearly verifies that the capillary barrier  
18 is in effect.

19           NELSON: I think it clearly indicates that something is  
20 going on. But the conclusion that this is a capillary  
21 process for fractured material with very uneven surface and  
22 open fractures, to me, I still resist it. I resist that  
23 assertion.

24           BODVARSSON: Okay.

25           NELSON: I mean, I can see your data, but I'm thinking

1 about all the other ways water can find to move through a  
2 system like this. It's a very hard experiment to do. It's  
3 not easy.

4       BODVARSSON: The other thing that might help you also,  
5 Priscilla, I don't know, is the following. We have drilled  
6 kilometers and miles and miles of tunnels at Yucca Mountain,  
7 as you know. We have never seen anything seep into any of  
8 the tunnels. And the only forces that I can think of that  
9 prevent you from getting water into the tunnels if low  
10 capillary forces are present, because gravity certainly is  
11 present, is the capillary barrier concept.

12       NELSON: Well, have you seen any evidence that the  
13 mountain in situ right now has water in fractures?

14       BODVARSSON: Yes.

15       NELSON: Or is the water in matrix?

16       BODVARSSON: We have evidence that there are waters in  
17 fractures from Niche Number 1. This is the only one where we  
18 actually dug the niche up without using water. When we  
19 looked at the end after digging up the niche, we saw a  
20 flowing fracture, which is the only fracture we have seen  
21 flowing. But it was a clear fracture flowing.

22       NELSON: Flowing, or was there a dark zone?

23       BODVARSSON: There was a dark zone around it, which is--

24       NELSON: This was a fractured zone; right? This is not  
25 a discrete--this was, as I recall, a fractured zone?

1           BODVARSSON: It was a single fracture. It was different  
2 from a zone. Actually, the fracture had different shapes and  
3 sizes, but there was more a single feature where the water  
4 actually was flowing down.

5           NELSON: And, so, the dark zone, was there water moving  
6 from the fracture into the matrix? Is that where you got a  
7 broadened--

8           BODVARSSON: Some of it had actually it looked like the  
9 matrix were more permeable because some of the colors you saw  
10 lighter. That included some of the matrix also, yes.

11          NELSON: I can see a whole lot of things happening  
12 there.

13          PYE: Pye, Staff.

14                 Bo, you've indicated a roughness doesn't appear to  
15 have any effect on capillary barrier?

16          BODVARSSON: I said it doesn't seem to have a big effect  
17 on the capillary barrier.

18          PYE: Okay. My understanding of the capillary barrier  
19 is you get a layer probably several centimeters thick, and if  
20 roughness factors essentially breach that capillary layer,  
21 then you have a diminished capillary effect; is that correct?

22          BODVARSSON: In the tests we have seen so far, the  
23 roughness of the niches is not uniform. So, the first order  
24 effect for seepage is the radius, because of  $1/R$  dependence.

25         And it seems like actually the roughness is not the real

1 critical issue in our measurements, or in our modeling right  
2 now.

3       PYE: Okay. Let's take roughness a little further  
4 forward. If you start to have degradation, is there some  
5 point where degradation, i.e. increased roughness, breaks  
6 down the capillary barrier?

7       BODVARSSON: The capillary barrier will not break down,  
8 but it will be different, depending on the size and shape of  
9 the opening. For example, if you take the extreme of a  
10 square opening, and one would think a square opening would be  
11 very, very conservative, a square opening will also have a  
12 capillary threshold to it.

13       PYE: Okay. You indicated, you know, the project has  
14 driven several miles of tunnel, and observed no seepage. How  
15 much is that due to ventilation. And, typically, in  
16 experiments, what is your mass balance?

17       BODVARSSON: The answer to the first question is that  
18 there is ventilation in a lot of the tunnels. In one part of  
19 the tunnel, we have kilometers we have closed for years  
20 actually, and we have not seen seepage. We have seen some  
21 condensed water that the measurements and the chemistry so  
22 far indicate that that water is void of silica. Pore waters  
23 are never void of silica. Silica is generally equilibrium  
24 with those pore waters, and that strongly suggests that  
25 that's condensate. So, in the areas where we totally shut

1 off ventilation, I don't think there is any evidence for any  
2 seepage into the drift in those areas.

3       PYE: Again, a hypothetical question. If you put a  
4 temporary bulkhead at the north portal and one at the south,  
5 and you turned off ventilation, what would you expect to see?

6       BODVARSSON: This is getting into, let's see, what do I  
7 expect to see? If you close up the south and the north  
8 portals, I would not expect to see any seepage into any of  
9 the drifts.

10       PYE: Okay, thank you.

11       DUQUETTE: Please continue.

12       BODVARSSON: So, that's my opinion.

13                This one shows actually after we do all these  
14 calibrations of the models with all of the data we collected,  
15 we then go into total system performance space, and we  
16 actually calculate all kinds of different curves that they  
17 can sample and use in the total system performance  
18 assessment. And that's what this shows. The red one at the  
19 bottom here is the seepage threshold. This controls the  
20 seepage threshold based on the permeability. And  
21 interestingly speaking, the higher the permeability, the less  
22 seepage, because it's easier to go around the drift the  
23 higher the permeability.

24                Also, the capillary suction factor, one over alpha,  
25 the lower the value of this factor, the more seepage again.

1 And then, of course, percolation flux. The more water that  
2 goes down through the mountain, the higher seepage fraction.

3           Now, having demonstrated that the seepage works  
4 under ambient conditions, now we are interested in finding  
5 out what happens during the thermal conditions. And the  
6 Yucca Mountain Thermal Test Program is aimed to address the  
7 thermally driven coupled processes, and I'm going to tell you  
8 a little bit about that.

9           The project has gone through a series of heater  
10 tests, all aimed towards understanding the effects of  
11 thermally driven coupled processes on the near field seepage  
12 water chemistry of the seepage water.

13           The three major tests, that's the single heater  
14 test, the large block test, and then the drift scale test  
15 that has been going on for four years heating and is now in  
16 the second year of cooling down. And this is a collaborative  
17 effort of many of the research institutions involved in the  
18 project.

19           I'm just going to go rather quickly through this.  
20 If you have questions, please ask them. As you know, during  
21 the drift scale tests, and I'm going to concentrate on the  
22 drift scale tests because that's the largest and most  
23 comprehensive test, we measure all kinds of things. In the  
24 beginning, we characterize the heater test area with pre-test  
25 characterization, where we measure the thermal, hydrological

1 and mechanical properties of the rock mass, minerals and  
2 petrology, pore waters, and everything to do with what is in  
3 the area, air permeability.

4           During the heater and the cooling test, we have  
5 continuous measurements of a lot of parameters, temperature,  
6 displacement, strain, humidity, acoustic emissions, and  
7 others. And then we have periodic measurements during  
8 heating and cooling, geophysical measurements, air  
9 permeability, gas and water sampling. And I'm going to show  
10 you some of these results a little later on.

11           There are lots of bore holes around this heater  
12 test. This is the heater test area. You have heaters here,  
13 if you haven't seen this test, and then you have bore holes,  
14 measurements above, below and beside the test.

15           We do model prediction prior to the test, and these  
16 are blind predictions. All of what I'm going to show you now  
17 from the heater test, there are no calibrations involved.  
18 These were blind predictions. I'm going to show you how they  
19 agree to actual measurements, no calibrations. So, you can  
20 look at these as validations.

21           The main physical processes that go on when you  
22 heat a rock mass past boiling are as follows. You have  
23 extensive boiling of the mass, rock mass next to the drift,  
24 with steam going from the matrix into the fractures, and then  
25 flowing out to cooler regions, where actually the steam

1 condenses. And you have higher liquid saturations in the  
2 fractures. You develop an area where you have total dryness,  
3 both in the fractures and in the matrix, that is, the liquid  
4 saturation is zero. The gas saturation consisting of non-  
5 condensible gases and steam is 100 per cent.

6           Then the time, of course, as the heat output goes  
7 down of the waste packages, this thermal area will shrink and  
8 eventually disappear, and you get back to the ambient  
9 situation. A lot of moisture distribution processes in place  
10 with boiling, condensation, imbibition into the matrix,  
11 gravity drainage in fractures, drying front, and condensation  
12 fronts.

13       BULLEN: Bullen, Board.

14           Before you leave this, this is a great example of  
15 the types of predictions and calculations that you do, and a  
16 lot of your calculations are done to map this. Are they done  
17 in 2-D or 3-D? And how would you expect this type of figure  
18 to vary first along the line of a drift where we've got waste  
19 package variations, and then from the center of the  
20 repository to the edge of the repository?

21       BODVARSSON: We do calculations in 2 and 3-D. Most of  
22 them are done in 2-D to get the main physical processes, and  
23 then we do 3-D calculations. The dominant heat transfer  
24 mechanism in this test is thermal conduction, as Priscilla  
25 mentioned, for example, the importance of knowing the thermal

1 conductivity of the lithophysal rocks, which is correct. So,  
2 that's the predominant factor. When you have waste packages  
3 that have different thermal outputs, three dimensional  
4 representation is absolutely necessary because you get  
5 different temperatures in the waste package that then has  
6 different temperatures in the rock walls, and then going into  
7 the rock.

8           If you are only interested then in how the boiling  
9 front moves with time, you don't need 3-D, because it all  
10 smears out inside the rock pretty much. But if you are  
11 purely interested in the crown temperatures, you must include  
12 three dimensional.

13           Did I answer all of your questions?

14       BULLEN: The edge of the repository versus center,  
15 though, the same?

16       BODVARSSON: The edge of the repository is going to be  
17 cooler because of your lateral cooling outside. The basic  
18 physical processes are all the same.

19           Now, again, let me emphasize these are blind  
20 predictions. This is the heating during the 48 months of the  
21 drift scale tests at different sensor locations. This is  
22 probably the best statistics that indicate the agreement.  
23 The mean error between model predictions and measurements for  
24 1700 sensors is less than 5 degrees throughout the heating  
25 phase. So, they match very well going from 20 degrees up to

1 240 degrees.

2           The cooling similarly is right on track with  
3 respect to our predictions versus actual measurements. So,  
4 we have done I think very well in making blind predictions.  
5 There are no calibrations involved here.

6           We also had quite a lot of success in electric  
7 resistance tomography done by Livermore, where we actually  
8 have the dryout zone. This is shown here in a model  
9 calculation, and this is verified by the ERT data that also  
10 indicate the size of the dryout zone.

11        PYE: Question. You talk about the redistribution of  
12 moisture.

13        BODVARSSON: Yes.

14        PYE: What can you tell us about the relative humidity  
15 inside of the drift?

16        BODVARSSON: During the heating phase?

17        PYE: Yes.

18        BODVARSSON: Well, it's way down, of course, because you  
19 are drying everything out.

20        PYE: Okay. What is the source of that water? I mean,  
21 you're saying the vapor moves out. So, some portion of that  
22 vapor stays in the drift, or moves to the drift?

23        BODVARSSON: No, no, no. I'm talking about, when I talk  
24 about the vapor moving out, it moves out in the rock. It  
25 doesn't stay in the drift. The drift becomes filled with

1 steam pretty much. The origin of the water is pore water in  
2 the matrix that boils. So, you can imagine a single block of  
3 rock, say one meter away from the drift wall, and if you look  
4 into that block, in the beginning, we'll just see an increase  
5 in temperature. So, the temperature increases just because  
6 heat is emitted from the drift wall. Then, when it gets to  
7 96 degrees to 100 degrees Centigrade, it boils because the  
8 pressure is one atmosphere in the gas, in the air, and then  
9 it starts to boil. When you boil,  $p_v$  is equal to  $n_r t$ , you  
10 increase pressures because you're increasing the volume, and  
11 basically what happens is that steam goes into the fractures  
12 and flows away from the drift and condenses away.

13 PYE: Okay. I think you indicated it was steam in the  
14 drift. Did I mishear you?

15 BODVARSSON: Yeah, there will be steam in the drift  
16 mostly because of the boiling process. But some CO<sub>2</sub> and  
17 other gases.

18 PYE: So, you're saying you--okay, we have a constant  
19 pressure system, we have an open system?

20 BODVARSSON: Open.

21 PYE: So, what's the total pressure inside the drift,  
22 plus water vapor?

23 BODVARSSON: Total pressure inside the drift is going to  
24 vary. You're always going to be very close to one bar.  
25 Maximum gets to one and a half to two bars of pressure, and

1 that's because the permeability of the fractures is so high  
2 you can't build the pressure.

3       PYE: Okay. So, steam displaces air. Where does the  
4 air go?

5       BODVARSSON: Air goes away with the steam in the gas  
6 phase, and gets condensed far away. I'll show you a plot of  
7 the CO<sub>2</sub> in a moment.

8       PYE: Okay, thank you.

9       CORRADINI: Can I ask a question?

10       BODVARSSON: Yes.

11       CORRADINI: The way you explained it was different than  
12 I thought you were going to explain it. So, can I say back  
13 what I thought I heard you say? Do you mind?

14       BODVARSSON: Yes.

15       CORRADINI: Can you go back to the previous slide? So,  
16 there's two things happening simultaneously, and the pressure  
17 is going to send the vapor in both directions. So, if you're  
18 heating up into an open hole, you actually have mass transfer  
19 into the hole and into the far field; is that correct?

20       BODVARSSON: Well, you have most of it is going to be  
21 pressure, highest pressure in the drift, because that's where  
22 the heat source is. Again,  $p_v$  equals  $n_r t$ . But then you have  
23 diffusive components also working, where you have diffusion  
24 in the gas phase, allowing steam to get into the drift, and  
25 air to go out of the drift, because of the diffusion in the

1 gas phase.

2       CORRADINI: Okay. So, just bear with me for a moment.  
3 I'm going to give you a very simple test, since I've seen  
4 these tests run for a totally different application.

5       BODVARSSON: Okay.

6       CORRADINI: If I put a heat flux on a rock or a ceramic  
7 body that's essentially saturated or partly saturated with  
8 water, the water will essentially evaporate, not boil, but  
9 evaporate and will come towards the heat source, and go away  
10 from the heat source because of a pressure distribution. Is  
11 the pressure distribution calculated in these simulations?

12       BODVARSSON: Yes.

13       CORRADINI: Okay. So, then the physics of it is is  
14 you're going to have vapor coming into the drift, replacing  
15 air, or mixing with air, and you're going to have vapor going  
16 out because of the pressure distribution?

17       BODVARSSON: That's right.

18       CORRADINI: Okay. So, that's the reason, when you said  
19 steam, and he asked you back steam, I thought you were going  
20 to tell me I'm driving stuff in because of evaporation, and  
21 I'm driving stuff out.

22       BODVARSSON: Right.

23       CORRADINI: Is that correct?

24       BODVARSSON: That's correct.

25       CORRADINI: Okay. All right. Then the second part of

1 the question is in the simulation for this test, what is the  
2 uncertainty in the ERT measurement? I'm astonished by the  
3 good agreement. Sorry for using that word. So, is there--I  
4 don't understand, I'm sorry I don't understand ERT, so tell  
5 me what's the inherent uncertainty in the resolution of that  
6 temperature or scale.

7       BODVARSSON: There is significant uncertainty in all  
8 geophysical methods trying to look at dryouts. So, I would  
9 say the uncertainty in this, without quantifying it, is  
10 significant. It's on the order of meters. But what we are  
11 trying to do here is to establish that actually a dryout zone  
12 exists. The size of it is not as important as it exists,  
13 because these are the only methods that can tell us it really  
14 happens, just like models predict.

15       CORRADINI: One last question and I'll stop. So, now  
16 I've created this thermal environment. I'm driving water in  
17 a vapor form towards the drift up to a point when I equalize  
18 pressure and concentration. I drive it away, since there's  
19 no equilibrium in concentration. Can I have seepage up this,  
20 up the temperature gradient?

21       BODVARSSON: No. And I'll show you that in a minute.

22       CORRADINI: Okay.

23       NELSON: Nelson, Board.

24                We've seen these plots before, and a couple of  
25 questions still arise, as I recall. Simulation and

1 saturation where you end up with that high saturation zone  
2 underneath?

3       BODVARSSON: Yes.

4       NELSON: All right. The blue zone. As I recall, there  
5 were some measurements that indicated that there was ponding  
6 of moisture underneath the opening. That was not well  
7 explained at the time that we saw that information. Can you  
8 tell me why you're getting that zone of high saturation, if  
9 not ponding, that occurs underneath?

10       BODVARSSON: It's because it condenses in the fractures.  
11 If you take a look at an opening, then what you'll see is  
12 you'll start boiling, and steam goes out in all directions.  
13 If there is no gravity, you will have the same saturations  
14 all around. But because of gravity, water wants to go down,  
15 and it condenses more underneath, because you have a lot of  
16 boiling that sheds off, and you have increased saturation.

17       NELSON: But why does it reconcentrate underneath?

18       BODVARSSON: It's because you condense the steam. Steam  
19 condenses. And the steam condenses all around here. It  
20 condenses all around here, and the condensed water tries to  
21 go back into the boiling zones, gets re-vaporized again.  
22 Some of it sheds around, because it can't go anywhere else,  
23 either it tries to go through here and gets boiled again, or  
24 it goes around. And, therefore, you have a little bit more  
25 water below there.

1           NELSON: Is that really just a little bit more water, or  
2 is that a lot more water?

3           BODVARSSON: It's a tiny bit more water. I can't  
4 emphasize enough that the increase in saturations in the  
5 fractures, it sometimes looks like a big blue lake in some of  
6 our pictures. It's not a big blue lake. The increase in  
7 saturation is a tiny one, going from perhaps 5 per cent to 10  
8 or 15 per cent, and we don't know exactly how high it is,  
9 because we can't measure fracture saturations because they're  
10 so small. But why do we know it's not so much? It's because  
11 the permeability of the fractures are so high, that when you  
12 start to increase saturations in the fracture, the relative  
13 permeability of the liquid phase increases so rapidly, you  
14 lose the water.

15          NELSON: Permeability of the liquid phase?

16          BODVARSSON: Yeah, because it's condensed water. The  
17 relative permeability of the liquid phase increases.

18          NELSON: Let me ask you a question about this simulated  
19 saturation. It has a very flat top, and it has a topography  
20 on the top of the dry zone and the boil zone. I'm wondering  
21 if spatially you could imagine there being a topography on  
22 the top of this line of waste packages, which might be  
23 significant enough that you could end up having some ponding  
24 of moisture, at least in significant high saturation, at  
25 various places above that, just because of the topography and

1 the variability of the rock? Do you think that would happen?

2       BODVARSSON: No. And let me tell you why. The range in  
3 fracture permeability, the measures on a one foot scale,  
4 which is a very small unit, it's not like on meters and  
5 meters, but a one foot scale, varies from some millidarcies  
6 to darcies. Or if you're used to meters squared, from some  
7  $10^{-15}$  meters squared, to  $10^{-12}$  meters squared, if you're used to  
8 those units.

9           In order to get ponding, that means the  
10 permeability is so low that the water can't go through it.  
11 You would have to go orders of magnitude lower in  
12 permeability to get that.

13       NELSON: Well, I'm talking about using that boiling  
14 front as a barrier, and if that has a topography, you could,  
15 and have the boiling front be the confinement.

16       BODVARSSON: The way I look at it, Priscilla, the  
17 condensation is on the fracture, you're right, and you look  
18 at blue colors, but the increase in saturations in the  
19 fractures is very small. What happens to that water is the  
20 permeability laterally is also high, so if it can't go down,  
21 it will go laterally and disappear, and you never build up  
22 full saturations in the fracture zones. The permeability of  
23 these fractures is just too high.

24       NELSON: If there is a topography on the top, because  
25 there are heterogeneities in time and space, that it seems

1 like it would be possible to have isolated accumulations.

2       BODVARSSON: It would be possible if the lower end of  
3 the permeability we measure is three orders of magnitude, or  
4 two orders of magnitude lower than what we measured in the  
5 low end. But since it's still so high, any saturation you  
6 build up goes laterally and dissipates. So, I'm sorry, I  
7 can't see the real possibility of this, because of the  
8 permeability of rock is just too high.

9       NELSON: Well, that's why I'm suggesting the topography  
10 on the top of the boiling zone that may actually be enough to  
11 stop effective drainage, which is what you're talking about,  
12 drainage and leaving.

13       BODVARSSON: Yeah. But, you see, the water molecules  
14 here have two choices. It doesn't just sit there. It has  
15 forces placed on it. Forces are gravity (a), capillary  
16 pressure (b), either imbibed into the matrix or it tries to  
17 go down here or it flows laterally, and it doesn't go down or  
18 pond up here. We have seen it in none of our simulations,  
19 even though we include all the heterogeneity in our models.

20       DUQUETTE: As Chairman, I'd like to note that we're on  
21 Slide Number 17 of some 60. If we're going to get through  
22 the presentation, I'd like to ask that questions be limited  
23 to questions of clarification about the data at the present  
24 time, and that the discussion afterward can discuss opinions.

25               Thank you.

1           BODVARSSON: Okay, I'll try to move through quickly.

2                   Now I'm going to talk about some of the modeling  
3 that we have done to look at exactly the issue of will we  
4 have seepage into the drift during the thermal period, as was  
5 asked before.

6                   And this is the thermal-hydrology seepage model  
7 that looks at that issue, TOUGH2, 2-D cross-sections, dryout  
8 zone, heterogeneous permeability, and flow focusing factors.

9                   This shows again the heterogeneous permeability we  
10 talked about here, and you see that in the different colors,  
11 because the saturations in the fracture systems, and let me  
12 point out again here is the condensation zone, Priscilla, and  
13 you have saturations on the order of 10 per cent, or so, in  
14 the fractures, because the permeability is high and it sheds  
15 very, very easily. You see a dryout zone after 100 years,  
16 dryout zone after 500 years. It goes about 5 to 10 meters  
17 away from the drift maximum.

18                   After 1000 years, it becomes smaller. You see it's  
19 still dry all the way around the drift. After 2000 years,  
20 it's much less, or non-existent dryout zone along the drifts.  
21 And you're back to close to ambient.

22                   These calculations show the seepage we expect.  
23 This is the current climate. We assume that we get into a  
24 monsoon climate after 600 years, and then to glacial, much  
25 wetter conditions after 2000 years. This is the ambient

1 seepage that is calculated, none for current conditions,  
2 about 1 1/2, 1 per cent seepage of the total water moving  
3 through the mountain after 600, and about 9 per cent in the  
4 glacial period for this specific location in the repository.

5           When you include the thermal barriers, because now  
6 you have two barriers, you have the capillary barrier, which  
7 works under ambient conditions, but you also have the thermal  
8 barrier, which prevents the water from entering the drifts.  
9 And you will see here in this calculation for this  
10 realization, you have no seepage into the drifts for 2500  
11 years under these conditions.

12           If you take a look at this graph here, that's very,  
13 very significant because that's getting close to the lower  
14 part of this graph where we don't have any problems with  
15 corrosion rates, as Joe will show you a little bit later.

16           So, water cannot penetrate through the vaporization  
17 barrier as long as the local temperature at the drift wall is  
18 above boiling. And we have done a lot of simulations as well  
19 as testing that seems to agree with this. After about 1000  
20 years, temperature drops below boiling, and then you have a  
21 potential for seepage, in this case, not until after about  
22 2500 years. Long term ambient seepage, of course, defines  
23 seepage during the whole period.

24           LATANISION: Mr. Chairman, I'm sorry, I've got to ask a  
25 question. This is clarification.

1           Despite what you've just said about the absence of  
2 penetration by seepage, the drift still is at 100 per cent  
3 relative humidity; is that correct?

4           BODVARSSON: It's dry. The drift is dry, because there  
5 is steam there. So, there is no liquid water present.

6           LATANISION: Okay. No liquid water, but there is steam  
7 present.

8           BODVARSSON: There is steam present in the drift.

9           LATANISION: Okay.

10          BODVARSSON: This is relevant to the questions we heard  
11 earlier raised through Dr. Chu and also John Arthur, and this  
12 shows something which I think is very important to keep in  
13 mind, and that is because of the 81 meters distance between  
14 the drifts, the thermally disturbed boiling conditions is  
15 very close to the drift, and you have no difficulties with  
16 drainage between pillars. And, therefore, the design, even  
17 though you have some differences in thermal conductivities or  
18 thermal parameters, it has really no effect on the design per  
19 se, because there is such a long distance between the pillars  
20 you are never going to get convergence of the boiling zones,  
21 even though you are way off in thermal parameters.

22           We did just very briefly, and I'm not going to  
23 describe this in detail, we did an alternate model just to  
24 convince ourselves our results are right, where we took the  
25 condensation zone waters here, and we just pumped them up,

1 even though we never see that in the simulation, we pumped  
2 them up so we have a pond here where we instantaneously tried  
3 to get it through the boiling zone.

4           And the next slide shows the results, and you show,  
5 in spite of having huge capillary suction above the drift,  
6 which is this red curve, you never get any water to the  
7 crown. This is the water going to the crown that has  
8 succeeded to go through the thermal one, it doesn't start  
9 until after 400 years, and after about 800 to 1000 years, you  
10 only have a small amount of water making it to the crown,  
11 which is much, much less than that that the capillary barrier  
12 can take care of. So, even having a ponded thing there to  
13 try to force through the thermal zones, we do not get any  
14 seepage during the thermal period.

15           I know this is difficult to explain, so if you have  
16 questions later, because of time, I need to move through it  
17 fairly quickly.

18           Now chemistry. Thermal-hydrological-chemical  
19 processes. Now, in addition to boiling and condensation, we  
20 have a bunch of chemical processes that are occurring also.  
21 You have dissolutions, you have precipitation, you have  
22 changes in porosity and permeability not only of the  
23 fractures, but also of the rock matrix, and then you have  
24 reaction rates and pH effects, and others.

25           The numerical tool, TOUGHREACT, is one we use for

1 this purpose that solves multiphase flow, advection,  
2 diffusion, and a lot of chemical processes, including  
3 dissolution, precipitation, and all of those.

4           Our model, just like the thermal-hydrological  
5 models, we do blind predictions. There's no calibrations  
6 here, blind prediction against measurements in the drift  
7 scale tests.

8           Before we actually match the drift scale test, we  
9 make sure that our initial conditions of the models are  
10 correct by matching the ambient geochemistry. That's the  
11 geochemistry we see in the mountain right now, including  
12 chlorides and strontium and other chemicals. This is a  
13 chloride model that shows the variability of chloride in the  
14 mountain, and we compare that to what's measured in the ECRB  
15 in the tunnels, and we find good agreement.

16           Some of you may say this doesn't look like a real  
17 good agreement because there's a lot of variability in this  
18 data, but all of this data to me is the same. This data  
19 suggests that the percolation flux is roughly 10 millimeters  
20 per year. If you go up here, it might be 6. If you go down  
21 here, it might be 12 millimeters per year. So, this, even  
22 though it shows a lot of variability, the numbers are pretty  
23 much the same. So, the matches are very reasonable with this  
24 dataset.

25           Then after we have made sure that the model is

1 appropriate for the ambient conditions, we look at and try to  
2 match, or actually try to make blind predictions about the  
3 chemistry that happened in the drift scale test.

4           The first thing we look at is carbon dioxide gas,  
5 and one of these curves shows the measured data, and that's  
6 the black points, and the other one shows the blind  
7 predictions with the model, no calibrations. And, first of  
8 all, what happens? You have imagine a pore water system with  
9 air surrounding water in the matrix. The water has CO<sub>2</sub> in  
10 it, because there is always dissolved CO<sub>2</sub> in it, and other  
11 gases in it. When you start to boil this mass, the CO<sub>2</sub> goes  
12 out of the liquid phase, because CO<sub>2</sub> gas does not want to be  
13 in a liquid phase. It wants to be in the gas phase with the  
14 steam. So, you start to get an increase in the CO<sub>2</sub>  
15 concentration due to degassing of the liquid phase.

16           Then after a while, you have completed all the  
17 transformation of the CO<sub>2</sub> from the liquid phase into a gas,  
18 and you have no more left, but you are still boiling away the  
19 rock, you're still boiling and boiling and creating steam, so  
20 the fraction in the gas phase has to go down with time,  
21 diluted by the steam. So, that's what this shows, and our  
22 blind prediction of the model matches that very well.

23           Along with that, you also have other changes.  
24 Number one, you have changes with the chloride concentrations  
25 in the liquid, and you have changes in the pH because of the

1 degassing of the CO<sub>2</sub>. When you degas the CO<sub>2</sub> or increase the  
2 CO<sub>2</sub> concentrations, the pH goes down. When you are deplete  
3 of the CO<sub>2</sub>, the pH starts to go up again.

4           Two points here. Number one, and this is by far  
5 the most important point, and that is you have seen  
6 calculations of chemical components with pH going to 2, pH  
7 going to 10, pH going all over the place, and you may have  
8 these very corrosive brines present because the pH goes all  
9 over the place. pH will not go all over the place. The pH  
10 varies only from 6 1/2 to 8 1/2, very little. And why is  
11 that? It's buffered by the rock, by the pore waters and the  
12 chemistry present. This is an open system. You cannot boil  
13 off in a beaker, get a pH of 2, stick it around your waste  
14 packages and calculate corrosion rates. You cannot do that.  
15 pH will not vary significantly.

16           The chloride, this is chloride measured in bore  
17 holes where we actually got condensate in the bore holes.  
18 This is the chloride in those blocks next to that, and it  
19 shows very much the same trend. There are also two things  
20 with respect to chloride. Number one, if you have a lot of  
21 interactions between the matrix and the fractures, pore water  
22 that condensed in the fractures, the chloride concentration  
23 would go up to the same as that in the matrix, which is  
24 roughly about 80 milligrams per liter. But because the  
25 interaction is so small, it stays very low, around 10 or 20

1 milligrams per liter. So, that shows the interactions  
2 between the fractures and the matrix blocks is very strong.

3           We also calculate precipitation and dissolution in  
4 fractures. We predict calcite deposition, although this is  
5 silica depositions, and we predict calcite depositions  
6 because of different processes occurring. When you boil off  
7 water, the concentration in the beginning is in equilibrium  
8 with the ambient silica concentration for 20 degrees. You  
9 boil the water off, the silica concentration has to go up.  
10 So, what happens then? Precipitates, obviously, the inverse  
11 is true with calcite, the solubility of calcite goes down  
12 with temperatures. So, in the condensation zones, then you  
13 reach the saturation of calcite, and you get a little  
14 deposition.

15           The important point here, though, again blind  
16 predictions, we drilled into the zone with bore holes, and we  
17 find the calcite and the silica we predicted would be there.

18           Now, using the confidence of our model after  
19 validation with the heater test data, we now want to predict  
20 what is going to be the chemistry of the water entering the  
21 drift, because that is what the corrosion environment around  
22 the waste packages is very sensitive to.

23           So, this model, thermal-hydrological-chemical  
24 model, again TOUGHREACT, predicts the composition of gases  
25 and water that could enter the emplacement drifts, and also

1 how permeability and rock properties would change with  
2 alteration, or deposition of minerals. And we did a bunch of  
3 sensitivity studies. I will move a little quicker because I  
4 know I'm short on time, and stop me if I go too fast.

5           Choice of initial waters. This is very, very  
6 important because the pore water entering the drift comes  
7 from the pore water measured in the rock. So, we have to  
8 make sure we represent correctly the variability of the  
9 chemistry of the pore water in the rock. And I'll show you  
10 how.

11           This is the same diagram that Bill showed you  
12 before. It shows all kinds of measurements that Zell  
13 Peterman, who is sitting in the back there, has done and Al  
14 Yang and others at the U.S. Geological Survey, chemistry for  
15 these three components of the chemical environment. One  
16 thing that's important is that we cannot use all this data in  
17 our model for the chemistry of the water entering the drift.  
18 Why is that? Some of it is saturated zone water, which is  
19 not close to the repository, some of it is in the PTN,  
20 Paintbrush unit, which is not close to the repository. You  
21 can only use the ones which are in the repository rocks.

22           Those are the only ones in the repository rocks, in  
23 the middle non-lithophysal or lower lithophysal rocks. These  
24 are the ones we use in all our calculations of the chemistry  
25 of water entering the drifts. You can't use all of the other

1 datasets because it's not applicable. You must use this one.

2           Looking a little bit closer at the chemistry  
3 instead of just these three chemical components, we have a  
4 cation diagram here pretty much, an anion diagram, and then  
5 the sulfates and sodiums and all the others here. And what I  
6 want to point out is that each of these diagrams, you see all  
7 this stuff here with all the datasets come from different  
8 areas, from bore holes or from the tunnels. The green ones  
9 are the five waters we actually picked that reflect the  
10 variability in this region. They reflect the variability in  
11 this region, and they reflect the variability in all regions.  
12 This is all the available data, and we think these five  
13 sets, because we can't handle them all, really reflect the  
14 heterogeneity and the variability in the pore waters. That's  
15 why we use these five.

16           In order to calculate this tough problem of  
17 chemistry entering the drifts, we have to have all the  
18 minerals, and the models include 20 minerals ranging from  
19 clays to feldspars to all the rock types that are actually  
20 measured. This is the real rock and it includes all of those  
21 minerals, because they can dissolve in the water. They can  
22 also dissolve in the gas, in the steam phase. We also must  
23 have all the major aqueous components, which we have, anions  
24 and cations and others, nitrates, iron, fluorides, and I'll  
25 only show you a few examples. You must also include all the

1 gas phase components. There's going to be steam, water  
2 vapor, air, CO<sub>2</sub>, and other gases.

3           This shows you now the crown conditions, what  
4 happens at the crown. First, for different realizations,  
5 different thermal conductivities, different thermal  
6 parameters, different chemistries. Important is not really  
7 the variability, but the general trend that I'm going to go  
8 through fairly quickly. This just shows temperature at the  
9 crown. Of course, when you ventilate, you have low  
10 temperatures then. It goes up and it goes down, just like  
11 Joe's picture here.

12       CORRADINI: Can I just clarify? When you say the crown,  
13 exactly where are you talking about? I'm sorry.

14       BODVARSSON: Right on top of an emplacement drift.

15       CORRADINI: So, on the inner surface of the drift?

16       BODVARSSON: Yeah, in the outer surface of the drift, in  
17 the rock, it's in the rock.

18       CORRADINI: How far in the rock?

19       BODVARSSON: It's just next to it, it's the next grid  
20 block that is probably within centimeters of the drift.

21           This shows again similar things we expected from  
22 the drift scale test. You have degassing over long time  
23 periods, and then you get a little bit more CO<sub>2</sub> because it's  
24 condensed up there and started refluxing, and you get higher  
25 values of CO<sub>2</sub> or bicarbonates.

1           pH, this is the dryout period where you cannot  
2 define pH if there is no liquid present at the crown of the  
3 drift, you can't define pH. But the pH then starts to be  
4 very low because you're getting back CO2 refluxing when you  
5 rewet again, and then it goes back up to normal. But you see  
6 again the scale, 7 to 8 1/2.

7           Chloride concentration, nothing happens of course  
8 during the dryout period. But, here is a very important  
9 point. When you rewet again after the thermal period, there  
10 have been some issues with salts precipitation on the drift.  
11 Of course, it's extremely corrosive environment in the drift  
12 because due to the boiling process, when you dryout, you must  
13 have salts there. Right? Very, very little salt will  
14 concentrate there simply because the water is so dilute. The  
15 water at Yucca Mountain in the pores is 1000 ppm. There is  
16 not much salt there. Therefore, you see instantly going from  
17 a large concentration of chloride with the first water  
18 hitting the drift wall, to benign waters because of that.

19           The other one, just like we did with the seepage  
20 model, we now want to look at the chemistry of the water in  
21 the condensation salts that we talked about before. And,  
22 again, you see blue here. The blue is only about 5 to 10 per  
23 cent in the fracture system. So, we are saying let's look at  
24 the chemistry of this water here, and see if that goes  
25 through the boiling zone, what would it be? What would be

1 the chemistry going through the boiling zone? So, I'm going  
2 to show you a series, starting with calcium to bicarbonate  
3 ratios in the fracture, and Bill Boyle pointed out very  
4 correctly that the calcite is the main buffer. If you have a  
5 lot of bicarbonate present, even if you have calcium present,  
6 calcite is going to deposit if you have sufficient carbonates  
7 present.

8           And this shows initial variability, which is just  
9 because we have the different pore waters present, initial  
10 variability going to very high calcium to bicarbonate ratio,  
11 which would say maybe I'll get calcium chloride brines. But,  
12 note this is during the thermal period here where we have no  
13 seepage into the drifts. So, this will never get to the  
14 drift. And you see that clearer in this picture here where  
15 we plot the temperature of the drift crown versus the calcium  
16 to bicarbonate ratio, and one sees that it goes below one at  
17 about 104 degrees at the drift. That's still boiling at the  
18 drift.

19           So, one would conclude that when you have a chance  
20 of seepage in this area here, your carbonates are enough  
21 probably to cause that you will not get any calcium chloride  
22 mixtures in the drift causing corrosion.

23           pH, again, we see the variability due to the CO<sub>2</sub>  
24 concentration, but generally between 7 and 8.

25           Chloride concentrations, variability in the

1 beginning goes down, and then up a little bit, but very  
2 similar to what we saw before.

3           So, I'm almost there. General findings from this  
4 chemical seepage model is the water in the condensation zone  
5 is dilute and the pH again is 7 to 9. Elevated  
6 concentrations are predicted for a short period during the  
7 rewetting, but that's an extremely short period. You will  
8 still have benign water, or very low concentrations. General  
9 trends of evolution for the gas phase do not differ  
10 significantly for any of the scenarios considered. Most of  
11 the five waters show very similar trends.

12           Fracture permeability has insignificant effects.  
13 The relative spread is basically mostly the natural  
14 variability of initial pore water composition. You don't  
15 have a lot of divergence after you consider this pore water  
16 distribution with the chemistry.

17           So, to conclude, I conclude the following. I'm  
18 concerned with what happens during the thermal period, how  
19 much water will seep into the drifts, what is the chemistry  
20 of this water entering the drifts, so that Mark can look at  
21 the in-drift conditions and Joe will then look at the  
22 environment around the waste packages. This is what I  
23 conclude with respect to this.

24           A significant database exists for evaluation of  
25 ambient and thermal seepage and the chemistry of the seepage

1 water (a). We have significant amount of data that I have  
2 shown you here. The relevant models, TH and THC coupled  
3 processes models are well validated using blind predictions,  
4 again, high quality seepage and drift scale test data. No  
5 seepage into drifts is expected to occur at above-boiling  
6 rock temperatures. This is very important. If the drift  
7 wall temperatures at the crown are above 96 or 100 degrees,  
8 we expect no seepage in the drifts.

9           Ambient pore waters in the repository units are  
10 dilute, total dissolved solids about 1000, and their  
11 variability is well represented by the five different initial  
12 waters chosen. We chose the right water based on the data  
13 that we had to look at what is the chemistry of the water  
14 entering the drifts.

15           Fracture water above the drifts is more  
16 concentrated during the boiling period when no seepage is  
17 anticipated. And, obviously, that's the case, because you  
18 boil off some of the water and you leave the rest of the  
19 water with the higher chemical concentrations. But during  
20 this period, we do not expect any seepage to occur.

21           Chemistry of the seepage water is at all times very  
22 similar to the initial dilute pore waters. The  
23 calcium/bicarbonate ratio is much less than unity, at times  
24 when seepage can occur, suggesting that calcium chloride  
25 waters are unlikely to evolve, based on that water entering

1 the drifts.

2           Large variability in the initial pore water  
3 composition is predominantly responsible for the spread in  
4 the final concentrations. So, basically, the initial  
5 variability in pore waters is the uncertainty and not the  
6 model make it diverge in the different chemistries for  
7 the rock.

8           Sorry it took so long.

9           DUQUETTE: Thank you. I want to take the Chairman's  
10 prerogative and make the first comment, and that is all of  
11 your models are based on absence of a container inside, or  
12 even a drip shield inside the drift. I think that the  
13 corrosion people, myself included, are more concerned about  
14 what happens in potential crevices, whether they be  
15 manufactured or naturally occurring because of precipitates,  
16 where the local chloride concentrations and pH can be quite  
17 different than what you calculate based on equilibrium with  
18 pore water and the absence of the containers being present.  
19 So, I think one has to be very careful in not confusing the  
20 pH and chloride that the corrosion people are concerned with,  
21 which is at the container level, versus the pH and chloride  
22 concentrations in the water itself.

23           BODVARSSON: Very correct, and I agree with you. The  
24 only thing I said is that the seepage water entering the  
25 drifts will have a pH of 7 to 9, and whereas when you

1 calculate it going to the waste package that Mark is going to  
2 talk about and Joe is going to talk about, they will show you  
3 probably different pHs than what I talked about coming into  
4 the drifts.

5       DUQUETTE: Right. If you have a crevice in salt water,  
6 just conventional sea water, where the pH is at about 8, the  
7 pH inside the crevice, if it's in contact with many passive  
8 metals, can get down as low as .5 in the crevice itself,  
9 which is independent of the pH of the surrounding  
10 environment. So, we have to be very careful in looking at  
11 those pHs.

12       BODVARSSON: And your point is well taken. I'm only  
13 talking about the pH of the water entering the drifts.

14       DUQUETTE: I understand that. Paul, and then Ron.

15       CRAIG: Yeah, that was fascinating, Bo, and it reminds  
16 me of the paper by Roseboom and Winograd back before I had  
17 ever heard of Yucca Mountain.

18       BODVARSSON: 1981.

19       CRAIG: Yes, it's before I ever heard of Yucca Mountain.  
20 Exactly so. And, basically, what you seem to be coming up  
21 with is that their model was a pretty darned good model, and  
22 when you examined it in detail, it comes out about the same,  
23 although they did allow for some very fast flow, which they  
24 thought would drain out through cracks in the rock. But,  
25 you're not even seeing that. And then the heat only makes

1 things better. So, it sounds, if I understand what you're  
2 saying, if you were to take bare fuel rods, or practically  
3 anything, it doesn't matter what you put in there, nothing is  
4 going to come out for several thousand years. And then when  
5 you go beyond the several thousand years, what kind of  
6 mechanisms finally begin to transport material? Am I  
7 expressing my conclusions correctly?

8       BODVARSSON: Yes. See, my opinion, and I guess I have  
9 to say to be honest with you, the question is my opinion and  
10 not necessarily that of the project. My opinion is exactly  
11 like that, Paul, is that you will have no water entering the  
12 drifts for thousands of years, in my view, in almost all  
13 emplacement drifts (a). And (b), not only will you dry out  
14 the rock around the drifts, but more importantly, too, you'll  
15 dry it below the drift. So, in order to get things out,  
16 which was your question, you have to diffuse because you  
17 can't get it by liquid flux. And if you diffuse it into that  
18 region, as I call the shadows zone region, which is dry, it  
19 takes thousands and thousands of years, and maybe even 10,000  
20 years, to go a few meters. So, I think we have, even though  
21 we have taken credit for a lot of what is happening there, I  
22 think the real system will be even more robust than what we  
23 are taking credit for.

24               Did that answer your question?

25       CRAIG: Yes.

1           LATANISION:   Latanision, Board.

2                   I, too, found that fascinating. I thank you for  
3 the full presentation. It was very helpful. One question  
4 that remains in my mind, however, is where does the issue of  
5 delinquescence enter into the equation from your perspective?

6           BODVARSSON: It enters into it through Mark's  
7 presentation. (Laughter.)

8           LATANISION: Wait a minute. That's not fair. We can  
9 put it off until Mark speaks. I mean, it seems to me that  
10 that's a subtlety in this comprehensive presentation of  
11 yours, and it still needs to be included.

12          BODVARSSON: Absolutely, and I think Mark will handle it  
13 very well.

14          LATANISION: Thank you.

15          PARIZEK: Parizek, Board.

16                   Bo, it's always interesting, the presentation, and  
17 with the confidence that you give us. Is there any more work  
18 to do? Margaret has a problem with funding, and there's  
19 limits on dollars. Are you done with this? Or what are your  
20 priorities? Because, obviously, there's work to be done  
21 here. I mean, we feel so comfortable having heard your  
22 presentation, that you should just be done, give back your  
23 money?

24          BODVARSSON: I'm pretty much done, and I'm going to give  
25 all my money back. (Laughter.)

1           PARIZEK: Be honest, this is your chance.

2           BODVARSSON: Yeah, I don't know what to do tomorrow. To  
3 answer your question--

4           CHU: Here's your big chance, Bo.

5           BODVARSSON: Okay. Here's my big chance. My big  
6 chance. What I think is important in my view, and that is in  
7 the local areas, too, I, we, have a lot of confidence in our  
8 results. We have a lot of confidence in our models. We rely  
9 a lot on our models and our confidence. We rely a lot on the  
10 very robust waste package, for example. The thing that Paul  
11 asked about in terms of the natural system can be  
12 strengthened to the extent I think we can put waste, without  
13 any waste package, into the ground and have a great  
14 confidence without relying on it, and I think that would be  
15 very, very important to do.

16                   Without going into further details, the important  
17 thing is to make sure we are all comfortable with the risk we  
18 are taking, and we all have, I'm sure Margaret, she has to  
19 look from the top pictures and be comfortable, I have to be  
20 comfortable as a manager and a scientist, and you have to be  
21 comfortable as a Board member. And our degree of confidence  
22 may vary. I am very confident in what I have presented, and  
23 some of these are stronger than other areas, and I would like  
24 to think that we will strengthen those as we go along, and we  
25 will debate what is the right thing to do. And I think I'm

1 very pleased that Margaret relies so strongly in the science  
2 and technology program. So, I think through those, we can  
3 build our case more and more, and all of us having a lot of  
4 confidence.

5       PARIZEK: I mean, there's obviously work, you still have  
6 priorities of things you would do, given the opportunity to  
7 do that.

8       BODVARSSON: Yes.

9       PARIZEK: I didn't want him to give all his money back.  
10 I seems like there's work to be done.

11               And then the temperature, you brought us about 2500  
12 years, was what temperature now? Was that the high  
13 temperature design, lower temperature design? Because you're  
14 saying really, from your point of view, keep it dry longer,  
15 and that's to everybody's advantage.

16       BODVARSSON: Yes.

17       PARIZEK: We won't know what the metals do right now,  
18 but keep it dry, and we've got 2500 years before you get  
19 water in it, if water wanted to get in there.

20       BODVARSSON: Yeah. This is the basic design that we  
21 have had all along, which I think you would call the hot  
22 design, where you actually have boiling in the rock. And  
23 that gives you really the additional thermal barrier that I  
24 talked about.

25       PARIZEK: Yeah. But on Page 24, you show this little

1 tiny little space, well, the 81 meter spacing, and this  
2 little tiny shedding. Why can't you then put drifts closer  
3 together. Priscilla was asking you about that. In other  
4 words, you don't need much space. Look at that space, all  
5 that wasted rock that you could put repository in. So, the  
6 footprint is littler. What's the answer there? Is it  
7 heating up down below, or heating up above?

8       BODVARSSON: No, I--my answer is the following. We all  
9 have a different level of confidence and a different level of  
10 the way we want this to work. For example, a big issue with  
11 the NRC, for example, is drainage between pillars.

12       PARIZEK: Yeah, but that's like a woman with blue hair,  
13 and you could get women in the mountain.

14       BODVARSSON: A woman with blue hair?

15       PARIZEK: Well, I have. But I'm saying you could get  
16 more in there. You could get more women in there.

17       BODVARSSON: Yes, I could get more women in there.

18       NELSON: Excuse me, Richard. (Laughter.)

19       PARIZEK: But just in terms of design itself, and so on,  
20 but a chance to talk about this 81 meter spacing.

21       BODVARSSON: Yeah. It's an issue, and I'm sure Nancy  
22 and Margaret and others are considering it. But, you know,  
23 you have a lot of, or it seems like you have a lot of  
24 confidence that you have plenty of drainage, the thermal is  
25 not going to kill you right now, and NRC might be confident

1 that it is so. I don't know. That's up to them.

2       PARIZEK: I'm sure there are other reasons to get into  
3 the design question. We didn't hear anything about I guess  
4 it's the mountain scale behavior, that's the Chlorine 36.  
5 When you calibrated models with it in, I mean, that Chlorine  
6 36 doesn't exist as a question anymore.

7       BODVARSSON: Yeah.

8       PARIZEK: Will that cause you trouble? And I guess it's  
9 another day's discussion. I mean, that's not part of this  
10 presentation.

11       BODVARSSON: Well, to answer that question, I might have  
12 Mark tomorrow, Mark is going to talk a little bit about it  
13 tomorrow. To me, the Chlorine 36 has never been a big issue  
14 for the site scale model.

15       PARIZEK: I thought you calibrated with it in.

16       BODVARSSON: We calibrated with it in, but it's only  
17 like 1 per cent of the total mass is affected by the fast  
18 flow paths. If they are in the model, I would not spend time  
19 or money to change the model, if there's no Chlorine 36,  
20 because it just doesn't have its effect. So, therefore, I  
21 think the impact on our large scale model is very small.

22       PARIZEK: So, it doesn't adversely affect it.

23       BODVARSSON: It doesn't adversely affect it.

24       PARIZEK: Some while back, you talked about in two  
25 weeks, the silica plugged up the crack in your laboratory

1 experiment.

2       BODVARSSON: Yes.

3       PARIZEK: But, we haven't heard any more about that.

4 Have you ever resolved that problem, what happened to the

5 silica and why it sealed the crack so quickly in the lab?

6 And just to be consistent with the observations you've been

7 showing us, it's one of the graphs there.

8       BODVARSSON: You have too good a memory. (Laughter.)

9 This is absolutely correct. We did a lab experiment, for

10 those of you who didn't know, we were concerned with what

11 happens when you actually precipitate silica or calcite, and

12 the concern obviously is that if you (a) if you seal it up,

13 because silica gets deposited with the boiling front, because

14 that's where you concentrate pore waters, and so we did an

15 experiment with the lab and it sealed up in two weeks totally

16 in the area. We see that also in the 3-D model results that

17 I showed, THC, that it's still an issue that the project must

18 address, because if you seal it up and then you have a hole

19 in it and you focus water, that can have adverse effects.

20 So, honestly speaking, I still think that's an issue.

21       PARIZEK: So, let me ask, because a gentleman's daughter

22 from Westinghouse competition years ago ran an experiment

23 like that and showed us silica reprecipitation is an issue.

24 I think I saw him earlier.

25       BODVARSSON: I cannot say that it's not still an issue.

1           PARIZEK: One last point. Define the blind prediction.  
2 I understood it, I think, but blind prediction, you were  
3 right on. Now, that's based on the theory, you have a  
4 solution, or just to make sure we all understand blind  
5 prediction.

6           BODVARSSON: Blind prediction is simply that what we  
7 often do, we always like to predict tests, and that's what  
8 this project has been very good at, we want to predict to see  
9 how good our model is. Often, our prediction is not so good  
10 that it comes back not the way we thought it would be, and  
11 then we calibrate, we change our models and parameters until  
12 they actually fit the data. That's what is called  
13 calibration. It so happened that with drift scale tests, and  
14 we are very pleased with it, and that's why it gives us  
15 confidence in the models, is that we actually predicted and  
16 did not have to calibrate, basically the temperatures rose as  
17 we expected. The partial pressure of CO<sub>2</sub> fell and then rose  
18 and the pH in the water did what we expected. And that gives  
19 you a lot more confidence, than if you have to turn knobs.

20          PARIZEK: But that was based on analytical theory. So,  
21 you has a reason.

22          BODVARSSON: That was all based on we put so many things  
23 in there, we put in the mineralogy we measured, we put in the  
24 air permeability we measured, we put in the pore water  
25 chemistry we measured. Everything was put in that model, and

1 then we do blind predictions.

2       PARIZEK: And I do apologize to Priscilla for the blue  
3 haired women.

4       DUQUETTE: For the record, there are people with blue  
5 hair.

6               We're running a little bit over. I'm going to  
7 allow three more very brief comments from the Board.  
8 Priscilla first, Dan next, and Mike last, and before I do  
9 that, I was asked to make an announcement that a luncheon  
10 buffet is offered in Jeffries, plus the regular menu.

11       NELSON: Nelson, Board.

12               What about rock bolts, steel sets in terms of  
13 changing the permeability over the crown rock, changing the  
14 chemistry of the water, introducing new cations? Whose  
15 responsibility is that part of the evolution? I mean, you  
16 could say it's the natural system, but you could also say  
17 it's not. Is that Mark?

18       BODVARSSON: That's Mark.

19       NELSON: Okay, Mark, I'll ask you that this afternoon.

20       BODVARSSON: I think to answer your question a little  
21 bit, Priscilla, we have been concerned that perhaps the rock  
22 bolts are going to increase seepage around them, because they  
23 generate a pathway, if you will, because you drill up there.  
24 All our studies indicate that's not the case, because  
25 there's such a small volume of water that can access it

1 anyway.

2           With respect to the chemistry affected by rock  
3 bolts, I think that's more in the in-drift environment. I  
4 don't know if Mark is going to handle it, but maybe you can  
5 address it in yours. I'm strictly rock in this presentation.

6           BULLEN: Bullen, Board.

7           Could we go to Slide 50 just real quick? Your  
8 second point on Slide 50 basically made the comment that for  
9 a relatively short period of time, you'd have the effect of  
10 the chloride in the drift, which I think is your second one,  
11 elevated concentrations of aqueous species.

12          BODVARSSON: Yeah.

13          BULLEN: Predicted for short periods of time. Go back  
14 to Slide 45 now. I just had a question about that elevation  
15 there, and the time frame of it. Could you explain to me  
16 what the 1080 and 1520 mean? And it looks to me like the  
17 heat Rev 1 that you have sort of takes about 500 years or so  
18 to come back down to ambient. So, is 500 years a short  
19 period of time?

20          BODVARSSON: This is the values of chloride that are not  
21 plotted on there. They were way up there in the beginning.

22          BULLEN: All right.

23          BODVARSSON: In all honesty, my recollection of this is  
24 that it drops practically instantly down to a few hundred  
25 milligrams per liter, because the amount of chloride is just

1 tiny. So, this occurs, most of this occurs in--

2 BULLEN: In one PA time step?

3 BODVARSSON: Yeah, like tens of years.

4 BULLEN: Okay. So, the time frame of 500 years I'm  
5 looking at is sort of an artifact in the calculation?

6 BODVARSSON: I think it is, because what we can do for  
7 you, and I've asked Doug Shirley and my people to do this, is  
8 to calculate the volume of minerals that are on the drift  
9 surfaces, and they did it, and it's a very, very small  
10 amount. You just can't get aggressive brines for long  
11 periods of time. You get small amounts.

12 BULLEN: Okay, thank you.

13 CORRADINI: One last question. So, I want you to,  
14 either one of our cartoon images there, so the way you  
15 describe the story, is it independent of the power generated  
16 in the drift between that purple area? I was told the lower  
17 end of that purple area is 1 kilowatt--

18 BODVARSSON: Yes.

19 CORRADINI: Just let me say it out loud, because I might  
20 have it wrong, so you will correct me if I'm wrong. So, the  
21 bottom part of that purple band is 1 kilowatt per canister on  
22 average?

23 BODVARSSON: Right.

24 CORRADINI: And the top one is 12 kilowatts per canister  
25 on average?

1       BODVARSSON: Yes.

2       CORRADINI: And the story you just presented sounds to  
3 me in the first thousand years, independent of that power.

4       BODVARSSON: Yes.

5       CORRADINI: Okay.

6       BODVARSSON: It's independent of that power, and let me  
7 just clarify it a little bit. If you have an average power  
8 of, say, five, and then you have the 12 kilowatts, and then  
9 you have the 1, so the average is 5, this story is dependent  
10 on the average. But the average of the waste packages that  
11 show a fairly large temperature variability in the drift, do  
12 not go very far into the rock. So, that's why everything is  
13 averaged that way. So, the story is pretty much the same for  
14 rock distribution of the waste packages.

15       CORRADINI: Can you repeat that one more time? That's  
16 actually important, and I didn't catch it. So, say it again.  
17 Do you mind?

18       BODVARSSON: I'm saying that if you have assemblages of  
19 waste packages with various thermal output, they have an  
20 average thermal output of X, the distribution of the waste  
21 packages are not going to matter a heck of a lot. It's the  
22 average of X heat output that the rock sees, because the rock  
23 doesn't see a lot of variability within the drift, because  
24 it's averaged so much out within the drift, because the heat  
25 transfer of the waste packages to the drift wall is by

1 radiation, and if you have a hot one here and a cold one  
2 here, it still radiates in all directions. Is that clear?

3           CORRADINI: I've got it.

4           DUQUETTE: That concludes this morning's session.

5 Before actually concluding, I'd like to thank the speakers in  
6 the technical part for really very nice and complete and well  
7 prepared presentations, and the Board thanks you very much  
8 for that.

9                   We'll convene exactly at 1:30. So, we'll look  
10 forward to seeing all of you then.

11                   (Whereupon, the lunch recess was taken.)

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1

2

3

4

5

6

A F T E R N O O N S E S S I O N

7 CRAIG: Okay. We are now beginning the second part of  
8 the Technical Session. I'm Paul Craig and I'm chairing this  
9 session. We have what turns out to be about four hours to  
10 talk about a bunch of different things; three talks in four  
11 hours. So, we do have time.

12 We're going to begin with Mark Peters from Los  
13 Alamos who is going to talk about the Character of the In-  
14 Drift Environment, then Joe Farmer of Livermore, Materials  
15 Performance, and then we'll take a break, and then after  
16 that, Bill Boyle comes back to talk about the Technical  
17 Program Summary. Then, we're going to have a lot of time for  
18 general discussion, and at 5:30, I will give up the Chair to  
19 Mike and we'll have public comment. If you want to make  
20 public comments, you should register with Linda Coultry or  
21 Linda Hiatt out at the table in the back of the room. And,  
22 you are, as always, welcome to submit your comments for the  
23 record.

24 We're going to begin with Mark Peters. Mark, have  
25 you ever actually lived at Los Alamos? No. When I first

1 knew him, he was in Las Vegas and now he's living in  
2 Washington. Okay, he gets around. So, Mark, I'll give you a  
3 warning when you've got about 10 minutes left, and as with  
4 this morning, but with slightly more enforcement, please,  
5 hold your questions until the end of Mark's talk unless you  
6 can't hold yourself and you have a question of clarification.

7       PETERS: Okay. I'm going to wander, if that's okay.

8               Let me start by saying I'm going to be picking up  
9 from where Bo left off. He walked us through the seepage  
10 piece during the thermal period, in particular, dropped the  
11 water to the drift wall. So, looking at the poster, he  
12 focused, in particular, up in this region here. I'm going to  
13 talk about regions maybe more than you've heard up until this  
14 point today where you've got an above-temperature region, a  
15 transition region, and then a below-boiling temperature  
16 region. So, if I mix those in, I'm talking about those three  
17 regions. But, again, I'm going to evolve the chemistry from  
18 seepage at the drift wall and evolve it in the drift, and  
19 simplistically speaking, hand that off to Joe who will then  
20 talk about corrosion of the base metal and also about the  
21 welded zone along the lines of what Ron was asking about.

22               You know, I don't want to belabor what was already  
23 said this morning by Bill and Bo, but this is really a  
24 mechanism for us to put together our understanding or our  
25 basis of the system for this piece, these set of features,

1 events, and processes; the coupled processes, the in-drift  
2 environment, and localized corrosion on the metals. So,  
3 again, protection by the rock in general terms, protection by  
4 the alloy. There's this transition zone where it's very  
5 important. These may very well overlap. Bill kind of  
6 alluded to that, but it's very important to understand  
7 chemistry throughout the system, but particularly in this  
8 region here.

9           I also want to say that I am not the modeler. I  
10 think everybody knows that. I'm speaking for a wealth of  
11 people who have done a lot of very good work at Bechtel SAIC  
12 in Las Vegas, at Livermore, and at Berkeley, and I'll be  
13 presenting the results and our basis. I've reviewed it  
14 extensively so I can sit up here and speak with confidence,  
15 but I don't want to take credit for the good work. But, if  
16 it's a bad presentation, blame me. Okay?

17           So, next slide, please? I'm going to walk through  
18 real quick what I've already said basically. The purpose of  
19 the presentation, talk a little bit about the three  
20 temperature regions. I'm also going to want to emphasize as  
21 we're going through, don't forget about the X axis here. How  
22 long are we spending in the different temperature regions?  
23 That's an important component to this. Up here, you know,  
24 you're above-boiling for a significant chunk of time. You're  
25 really below-boiling for a significant chunk of the 10,000

1 year period. You're in this transition zone near boiling  
2 really for a very short period of the total compliance  
3 period. That's an important point that I think needs to be  
4 brought out, as well. So, I'm going to talk some more about  
5 the three temperature regions, talk about the evolution of  
6 the in-drift chemical environment, bring up chemical divide  
7 theory, the ternaries that Bo and Bill have shown will show  
8 back up. We'll talk a little bit more about how the water is  
9 represented in that idealized ternary, talk about the in-  
10 drift water chemistry model, our basis, our validation of  
11 that model, then talk about deliquescence. Bo handed that  
12 off to me. So, we're going to discuss deliquescence. Then,  
13 wrap up with emphasis on my part of the picture, but also  
14 hammering home some of the points that Bo made and also  
15 pointing forward to some of the points that Joe is going to  
16 make and finally just conclude.

17           So, again, I'm presenting the in-drift chemical  
18 environment modeling approach that's being developed for the  
19 License Application and I'll talk about the basis, the  
20 validation basis, for that model. It's going to be broken up  
21 into talking about it in two components. Let's keep it at  
22 two components. First, I'm going to talk about the seepage  
23 aspect. Bo's brought the water to the drift wall. That's  
24 potential seepage into the drift. It's got a very dilute  
25 chemistry, a fairly narrow range of pHs. That is possibly

1 water that could drip in. That water will be evolved in the  
2 in-drift environment through evaporation as a function of  
3 temperature and relative humidity and other parameters.  
4 That's the first part. The other aspect of the system is  
5 deliquescence that could occur in evaporative salts that have  
6 gathered on the metal surfaces, or for that matter,  
7 deliquescence on the dust that's got on the waste package  
8 surface. That will be the second piece that I'll talk about.  
9 And then, we'll wrap up.

10           So, to summarize, meet up front, and some of this  
11 again is what Bo's already discussed, the chemical evolution  
12 of the seepage waters controlled by temperature and relative  
13 humidity in all three regions of the stages of evolution; the  
14 dry-out, the orange piece, the transition, this greenish-gray  
15 piece, and the low-temperature or blue piece of the graphic  
16 that we've got over here on my left.

17           Bo's already also talked about the second bullet,  
18 the variability and uncertainty--oh, excuse me, he was  
19 talking about the variability and uncertainty in the pore  
20 waters, capturing the variability and uncertainty that you  
21 get when you bring the water to the drift wall. This is also  
22 getting at my summary where I'm talking about the variability  
23 and uncertainty in the predicted composition of evolved  
24 seepage waters is accommodated in our approach for the model.  
25 I'll hope to convince you of that as I go through.

1           The concentrated waters that could support  
2 localized corrosion have been shown to be relatively rare,  
3 and even if they did occur, they'd be very small quantities.

4           Experimental evidence, as well as model  
5 calculations, on the influence of deliquescence of the dust  
6 or salts on the metals has been shown not to initiate  
7 localized corrosion. I will touch on that and Joe will then  
8 pick up and run with that from terms of how it fits into the  
9 metal degradation story or non-degradation of the metal  
10 story, however you want to put it.

11           The probable evolved seepage waters and  
12 deliquescence brines are benign. Calcium chloride brines are  
13 not expected.

14           And, finally, the drift environment is expected to  
15 be an "open" system.

16           So, again, just to--I really want to hammer home  
17 tying back to the graphic or the poster here, the dry-out  
18 region, again in the orange area, were above-boiling, were in  
19 dry-out. I use the word "shields" in quotes, but the  
20 capillary barrier, as well as the thermal barrier protecting  
21 the drift from any significant water seepage. Bo stated we  
22 expect no seepage during that dry-out period. Deliquescent  
23 brines can occur in the absence of seepage brines during that  
24 period.

25           Moving down-temperature into this transition region

1 in here again, a short amount of time of the compliance  
2 period, but just the same, we do go through that period. The  
3 onset of seepage may occur. The chemical evolution of the  
4 potential seepage is of interest because of evaporative  
5 concentration that may produce brines and that's going to be  
6 the lion's share of what I'm going to talk about next when we  
7 talk about the evolution of potential seepage waters.

8           We are doing testing in addition to the models that  
9 I'll talk about. We're doing a lot of testing looking at  
10 representative waters and how they evolve in terms of  
11 evaporative concentration. And, the geochemical model has  
12 been developed to represent the water compositions in the  
13 drifts that would expect and we capture the variability and  
14 uncertainty in the processes.

15           Then, moving down to the lower temperature region,  
16 the blue region, where we're well-below boiling and really  
17 makes up the significant chunk of the compliance period, the  
18 seepage water chemistry evolution again is a function of the  
19 amount and chemistry of the incoming water, the temperature,  
20 and RH in the drift. There is an effect from committed  
21 materials. What I mean by committed materials, there was a  
22 question earlier about effect of rock bolts. Committed  
23 materials reads rock bolts, steel sets, grout, although there  
24 isn't grout in the drifts in our current design basis, but  
25 those are the sorts of things that we're referring to. And,

1 finally, deliquescence can still occur, but remember we're at  
2 a very low temperature here and Joe will talk a lot more  
3 about temperature thresholds for localized corrosion and all  
4 that sort of stuff.

5           Just to hammer home that I'm breaking this up into  
6 really talking about it in two pieces, you've got--this is  
7 just a cartoon or a conceptual picture of the drift, waste  
8 package drip shield showing seepage water that could enter  
9 the drift and also deliquescence films that could be produced  
10 on the metal surfaces. So, these can again occur at a range  
11 of temperatures. Seepage, we expect to occur at and below-  
12 boiling. But, we've got a model which in general speak is  
13 termed the in-drift precipitous salts model. It's the model  
14 that defines and is validated that defines the evolution of  
15 the in-drift chemical environment.

16           I'm going to repeat some things, I think for  
17 emphasis that Bo's already touched on, but in terms of the  
18 boundary--I'll call it the boundary conditions--where we  
19 start from when we enter the drift. What sort of available  
20 data and measurements do we have? I mean, Bo talked about  
21 we've got 8km of tunnel in the exploratory studies facility.  
22 We've got pore water measurements from the proposed  
23 repository horizon levels, five of which Bo has taken and  
24 evolved through the THC coupled process model. We've got  
25 observations that Bo talked extensively about from our heater

1 tests, in particular the drift scale test, and of the  
2 predictions and the measurements and the confidence that we  
3 have a valid model in that area. I would want to reemphasize  
4 that fact that we've been able to collect a lot of water from  
5 the drift scale test, in particular, and I think we've gained  
6 a lot of confidence in our understanding of the chemistry  
7 aspects of the system by being able to collect that water  
8 compared to predictions. And, finally, really in the in-  
9 drift environment, it's focused on laboratory studies where  
10 we're taking pore waters, representative waters, and putting  
11 them through evaporation experiments and also doing some  
12 experiments with deliquescence.

13           So, let's talk about the model for the in-drift  
14 environment. There's a handoff from models that Bo discussed  
15 that come through the THC time series, the calculations from  
16 the unsaturated zone THC model with TOUGHREACT. We take  
17 those water chemistries and through a series of--on here,  
18 it's called abstractions, but they're binning exercises and  
19 I'll talk more about what we do as we take that TOUGHREACT  
20 output. We're able to put those into a set of representative  
21 water chemistries that capture the uncertainty and  
22 variability that we'd expect to come in a seepage. Again  
23 here, I'm focused on seepage for now. Then, moving to  
24 deliquescence, we do an experimental evaluation of  
25 deliquescence. Then, also, an important point that's going

1 to be brought up towards the very end is we also in our base  
2 is developing an understanding of the gas phase mixing within  
3 the drifts. That's real important when you start talking  
4 about being able--could we sustain, say, acid gas type  
5 environments in a drift? I'll get to that, as well, at the  
6 very end.

7           So, moving into the chemical divide theory, this is  
8 something that, I think, the Board has seen before. Greg  
9 Gdowski has shown it before in the past. It's out of  
10 Drever's textbook. But, it shows how natural waters through  
11 the influence of gypsum, calcite precipitation, gypsum  
12 precipitation, as well as magnesium silicate precipitates can  
13 evolve geochemically as a function of evaporation. I only  
14 want to bring it up because you can see--I mean, it's a  
15 somewhat idealized diagram, but it shows how one could  
16 through calcite precipitation and gypsum precipitation, for  
17 that matter, evolve to a chloride brine and it all depends on  
18 the relative concentrations of carbonate to calcium to  
19 sulfate in the system. It's a somewhat simplistic diagram,  
20 but important to bring in the context as I move into the  
21 evaporative concentration calculations.

22           A similar depiction of what Bill showed earlier,  
23 chemical divide theory. Here, we're representing in this  
24 again the same ternary diagram; calcium bicarbonate, sulfate.  
25 One question earlier, it's an equivalence. That's an

1 important--that might have been clarified offline, but it is  
2 an equivalence. So, you've got calcium again by carbonate  
3 sulfate. It's an idealized ternary. I think that's probably  
4 obvious, but I do want to state that. We've got a multiple  
5 component system and we're projecting it onto a three  
6 component system, first of all. And, also, these boundaries  
7 are ideal boundaries meaning if there's any non-ideality in  
8 the system bringing activities that aren't equal to one, in  
9 other words, that will cause these boundaries to shift.

10 That's maybe a subtle point, but it's important to remember  
11 particularly when we start talking real water compositions up  
12 here. But, we felt that it was a good way to walk through  
13 the system how it might evolve with the proper caveats.

14           Something you've already seen, Bill showed this and  
15 Bo also showed it. So, I won't dwell on it. But, this shows  
16 the same ternary, same divides, idealized boundaries with the  
17 different water chemistries. The pore waters that Bo started  
18 with are a subset of these five dark, I guess, that would be  
19 bluish-purple circles.

20           So, how does the in-drift water chemistry fit into  
21 the picture? We started with a coupled THC model. We take  
22 the output from the THC model which represents potential  
23 seepage. So, you've got a series of--you know, actually,  
24 move to the next slide, if you would. Let's talk through it  
25 here. This is kind of a wiring or flow diagram of how the

1 models fit together. Bo has focused, in particular, on just  
2 these first two boxes; taking the ambient pore waters and  
3 evolving them through TOUGHREACT and bringing a set of waters  
4 in the system.

5           The result selection involves looking at all the  
6 date points and all the grid blocks and taking only those  
7 waters that make sense in terms of potential seepage.  
8 There's waters that are below the drift. Those aren't going  
9 to seep. So, it really focuses on narrowing in on the waters  
10 within the system that are likely to seep. So, that's the  
11 first set of criteria that we follow through.

12           Then, we also look at the time evolution of the  
13 waters. In that process which here is called generically a  
14 binning process, we were able to take the output from  
15 TOUGHREACT and represent that as what's going to, as you're  
16 going to see in the next slide, 11 Bins that represent the  
17 variability and uncertainty of waters that could enter the  
18 drift as seepage.

19           So, a lot of what I've just said, you get 11 types  
20 of water compositions. They can be evolved through many  
21 states. Importantly, the types of brines are determined by  
22 the source location if the initial brine, i.e. crown waters.  
23 And, I think, Bo clarified what we mean by crown. We can  
24 also extract the frequency of occurrence for each type of  
25 water and I'll get to a table that really is the take-home

1 point from this part of the presentation. Then, I'm going to  
2 talk a little bit more about the binning process as it  
3 applies to starting water chemistries in the next couple  
4 slides.

5           A complicated diagram. I don't want to dwell on  
6 it. What I'm plotting here is molality versus time in years  
7 for several different species, also pH and Bin. I'm plotting  
8 molality of a chemical species on the left and pH and Bin are  
9 plotted on the right. What is this showing? This is showing  
10 one of the starting pore waters and showing how it evolves  
11 through the THC model. So, really, Bo could have spoke to  
12 this piece, but my part comes in because it shows how the  
13 different water chemistries as a function of time breakout  
14 according to the Bins, the 11 Bins that we come up with when  
15 we do the binning exercise to look at potential incoming  
16 seepage. So, a couple of important points. The pH, this  
17 particular one, here's that--you know, it's pretty constant,  
18 though really, I think, the nice job of pointing it out, this  
19 particular water chemistry stays pretty constant right around  
20 8. But, as time goes on, the different aspects through the  
21 different aspects of the evolution, you can see how the data  
22 points break up across the 11 Bins. You can see these data  
23 points end up in Bin 3, whereas these up here end up in Bin  
24 11. Again, there's a table here where I'll talk about all 11  
25 Bins and talk about where they start and where they end in

1 terms of their evolution.

2           Next slide is just another example for a different  
3 sorting pore water again showing how we trace through the THC  
4 model. You can see 11 seems to show up a lot and I'll get to  
5 the frequency of occurrence again in that table that I'm  
6 about to get to.

7           There's the table. So, we've taken the THC output,  
8 we've put it into 11 Bins that represent the variability and  
9 uncertainty of the potential seepage that might come in; so,  
10 Bins 1 through 11. The second column represents the time-  
11 integrated relative frequency for crown waters. Let me point  
12 out a real important point. These are for crown waters.  
13 These are waters that occur at the wall just inside the rock,  
14 as Bo put it, that first grid block, and it could potentially  
15 seep.

16          CORRADINI: A question of clarification. So, I think I  
17 understand it, but I want to go back. So, you predict what  
18 you think is at the wall. You then trace the chemical  
19 species and then you break them down into 11 representative  
20 groups, and by the prediction of how much they appear, you  
21 get essentially the frequency or the probability of seeing  
22 Bin 11, Bin 10, blah, blah, blah?

23          PETERS: Yes.

24          CORRADINI: Is that approximately right?

25          PETERS: Yes.

1           CORRADINI: Okay. So then, you are assuming that this  
2 will or could go into the drift?

3           PETERS: Right. I'm not saying it will drip.

4           CORRADINI: But, you're saying if it did, this is the  
5 composition?

6           PETERS: Right.

7           CORRADINI: Okay.

8           PETERS: So, that's an important link back to Bo's  
9 because Bo--you know, it won't necessarily drip, but if it  
10 did, this is the frequency of water--the frequency broken up  
11 and these numbers add up to 100 percent of the 11 Bins. Now,  
12 if you take those 11 Bins and you plot them--and you think  
13 about where they start their life in terms of chloride,  
14 nitrate, sulfate, bicarbonate waters, this column here is  
15 showing where they start their life. This RH is their final  
16 deliquescence point where they evolve to when you evaporate  
17 the complete dryness. And, if you evaporate the dryness,  
18 this is where they end up. So, an important point. Two of  
19 the Bins could evolve to a calcium chloride end point, but  
20 they don't occur in the crown. I think that's an important  
21 take-home point.

22                   There's three Bins that make up the dominant water  
23 that we would expect that could seep into the drift. Those  
24 are Bins 4, 9, and 11 and you can see they evolve to  
25 chloride-nitrate, or carbonate chloride brines. An important

1 point, nitrate, and we'll get to nitrate/chloride ratios in  
2 those bins, in particular, as this plays out, and then Joe is  
3 really going to talk a lot about the influence of nitrate on  
4 localized corrosion.

5       BULLEN: Bullen, Board. Just before you leave that one,  
6 a clarification question.

7       PETERS: Yeah?

8       BULLEN: The first two Bins are essentially the most  
9 aggressive waters, the calcium chloride.

10       PETERS: Right.

11       BULLEN: Why do you never see them?

12       PETERS: Because they don't occur in the crown.

13       BULLEN: Do they occur elsewhere?

14       PETERS: If you look at waters down along the side, if I  
15 did this thing for a combined crown and something that might  
16 leak in from the side, these numbers would be less than one  
17 percent. So, they occur, but they don't occur as seepage.  
18 It can't occur as seepage.

19       BULLEN: Okay. And then, I guess, the question is what  
20 are my error bars on this prediction of they don't occur in  
21 the crown, plus or minus what?

22       PETERS: Error bars on the end of--I mean, it's a simple  
23 fact, they don't occur in any of the grid blocks that we  
24 would expect to seep throughout the time.

25       FARMER: All predicted waters are accounted for in the

1 11 Bins.

2       PETERS: Yeah.

3       BULLEN: So, there's a median and--

4       CRAIG: Joe, use your microphone. You've got to use a  
5 microphone.

6       FARMER: Sorry. All predicted waters are accounted for  
7 in the 11 Bins. There's a median, a maximum, and a minimum.  
8 And, if you look at a particular Bin, it encompasses many  
9 water compositions, but if you go from Bin 1 to 11, those 11  
10 Bins account for all the predicted water compositions and  
11 there are quite a few of them.

12       BULLEN: Thanks.

13       PETERS: So back to the ternary diagrams. Here is the  
14 11 Bins plotted up on the idealized ternary. Shown in green,  
15 italicized, are Bins 4, 9, and 11 which make up the majority  
16 in terms of relative frequency of occurrence. Also plotted  
17 on here in yellow circles are the solutions that are used for  
18 corrosion testing. Joe's going to talk more about that. I  
19 won't dwell on that, the point being that the kind of  
20 solutions that we're using for corrosion testing are really--  
21 they're bounding our problem. That's my take-home point from  
22 this.

23               Back up one second, please. What I'm going to now  
24 talk about is take these 11 Bins and then evolve them through  
25 evaporative concentration. How do they evolve, what do they

1 produce? The table already gave you the answer, but we're  
2 going to show a few specific examples.

3           What about the model validation approach before I  
4 get to showing you a couple of examples of evaporative  
5 concentration calculations? The improvement in the in-drift  
6 model from ESR and the LA has been the incorporation of a  
7 Pitzer model for activity composition relations, in  
8 particular, that does a nice job of evaluating these more  
9 concentrated solutions. It's an improvement that probably  
10 means something to the geochemist types in the audience.  
11 But, it's a significant improvement going from a (inaudible)  
12 to a Pitzer type formulation. To demonstrate and to build  
13 confidence in our model, we validated it against some of your  
14 own laboratory data, as well as looking at published results  
15 and I'm going to walk through a couple examples of that in  
16 the next couple slides.

17           First, a set of calculations done by Garrels and  
18 Mackenzie. This is the evolution for the evaporation of  
19 Sierra Spring water. Plotted on the left is again the  
20 Garrels and Mackenzie calculation done with a different  
21 approach; on the right is our EQ3/6 simulations for the same  
22 starting water composition. So, it's concentration of  
23 various species also showing how pH tracks versus  
24 concentration factor as you evaporate the water. We dug into  
25 the details. It does do a nice job of showing that

1 independent calculation techniques do give a very similar  
2 answer which builds confidence in our model.

3           Another example shows predicted solubility. Here,  
4 I'm looking at sodium chloride solubility as plotted in the  
5 CRC Handbook versus our predictions, a one to one line, as  
6 well as under prediction by a factor of 10, and over  
7 prediction by a factor of 10. It then it shows the actual  
8 data from the CRC Handbook showing that our model does  
9 respect that data, as well.

10           Next, some experiments that have been done by DOE  
11 for Yucca Mountain. These particular set of experiments were  
12 done by Nina Rosenberg and coworkers at Livermore. They took  
13 a representative Yucca Mountain pore water and it evaporated.  
14 These particular experiments were done at 85 degrees  
15 Celsius. They concentrated it. Two sets of data are shown  
16 here; one for a concentration factor of 1, one for a  
17 concentration factor of 1,243, again showing under prediction  
18 by a factor of 10, an over prediction by a factor of 10, and  
19 our EQ3/6 simulation of those experiments.

20           So, moving now to Bins 4, 9, and 11, the three that  
21 I pointed out were the most common in terms of occurrence in  
22 the crown, potential seepage. I'm going to show three plots,  
23 one for each Bin where I'm plotting either pH or molality  
24 versus relative humidity showing how different species track  
25 and also how pH varies as you evaporate these waters towards

1 dryness in the model. Also shown on here are blue curves  
2 that show the relative amount of water remaining just as you  
3 go towards dryness in the three Bins. Also shown on the  
4 bottom is a reference back to the temperature-time curve, in  
5 particular the time, and at approximately at what times we  
6 expect the kind of relative humidities that are shown on the  
7 plot. A lot of information on these. A couple of take-home  
8 points; the pH in this particular, you can see, stays right  
9 around 7.5 to 8 and the relative amount of water, as one  
10 would expect, decreases until you get to complete dryness.

11           Next one, Bin 9, again one of the other common  
12 Bins. Here, pH is actually evolved as you evaporate up to  
13 the range of 10. Bo really emphasized and made some good  
14 points about what the pH is of the waters in the rock. It  
15 really fits within a fairly narrow range, 7 to 8. If you  
16 look at the 11 Bins as they evaporate in the drift as we  
17 evaporate potential seepage, the pH range is more on the  
18 order of 4 to 10.

19           CORRADINI: Again, a point of clarification?

20           PETERS: Uh-huh.

21           CORRADINI: I read this from right to left. Is that  
22 incorrect? Because your time marks are going from right to  
23 left.

24           PETERS: Right.

25           CORRADINI: Is that correct?

1       PETERS: Yeah. Yes, that's probably the right way to  
2 think about it in terms of this picture. Yeah.

3       CORRADINI: Okay.

4       CRAIG: How do you read the relative amount of water  
5 remaining throughout this?

6       PETERS: It's not really plotted on a scale. It's just  
7 trying to give a sense for relative change in the amount of  
8 water.

9       CRAIG: And, the amount of water increases with time if  
10 you read from right to left?

11       PETERS: Yeah, I'm sorry, that's confusing. We're  
12 reading it in this direction.

13       CRAIG: I think that's what--

14       PETERS: As you take a water and evaporate it down, you  
15 start with this much water, and when you get towards dryness,  
16 you've got a factor of 2 less.

17       CRAIG: Okay. But then--

18       FARMER: Excuse me. The terminal point corresponds, I  
19 think, to the relative humidity of the deliquescence point.  
20 So, you begin at 100 percent RH with a very dilute solution,  
21 and then as you evaporate it down, you approach the  
22 deliquescence point and the terminal point would correspond  
23 to the critical RH where you would have deliquescence.

24       CORRADINI: Can I try one more time? I caused this.  
25 So, I look at the red bar, the yellow bar, the blue bar. I

1 interpret that to mean that the molalities--forget the water  
2 line--the molalities are actually going from right to left  
3 because you're essentially drying out and you're becoming  
4 more higher relative humidity. Is that incorrect? I'm just  
5 trying to understand your red, yellow, and--

6       PETERS: I understand what you're saying. If I had a  
7 drop of water at 2000 years, I'm basically ambient, right?  
8 So, I'd be here. If I had to draw off the water at the drift  
9 wall that I then introduced into the drift at, say,  
10 approximately 500 years, this is the conditions that it would  
11 be at. It would evaporate to that point. Clearer?

12       CORRADINI: Yeah.

13       PETERS: Joe, you want to take a cut at it?

14       CORRADINI: Yeah. Yeah, I think this shows the--I think  
15 to try to map time over on this curve is probably not the  
16 best thing to do though. There are scenarios where that  
17 would be appropriate. I think what this is showing you is  
18 that for a particular Bin water, in this particular case Bin  
19 9, you can start out with a very dilute Bin 9 water which has  
20 an equilibrium RH close to 100 percent. Then, as you take  
21 that Bin 9 water that, frankly, is a fairly dilute solution,  
22 at least compared to what you eventually get to is you  
23 evaporate the dryness, and you start evaporating that Bin 9  
24 water--let's say hypothetically on the surface of the waste  
25 package--this shows the concentration evolution that you get

1 on the surface of the waste package as you evolve a Bin 9  
2 type of water. So, as we go through these types of  
3 calculated or predicted evolutions with the EQ3/6 code, we  
4 see how the 11 characteristic Bin waters evolve on the  
5 surface of the waste package, as Mark said, as we evaporate  
6 them to dryness. So, you're going from a very dilute aqueous  
7 phase to something that approaches a deliquescent brine to  
8 something that at the terminal point is almost a solid. So,  
9 this shows the evolution of that solution. I think these  
10 calculations, I believe, we done actually in response to some  
11 of the earlier requests by the Board.

12 CERLING: Cerling, Board. So, what do the 2000 year  
13 point, 1000 year point, and 500 year point--

14 PETERS: It was attempting to try to tie--perhaps, Joe's  
15 correct, but it was attempting to try to tie the expected RH  
16 conditions in terms of time because--

17 FARMER: That's correct.

18 PETERS: That's what were trying to do was tie this back  
19 to the time axis here because the RH at early times is low in  
20 the drift; hence, that is--

21 FARMER: Yeah, the time points on the X axis were not  
22 used in any way in the prediction. Basically, during some of  
23 the preparatory work for this presentation, people were  
24 curious and--you know, there are certain RHs that occur in  
25 the repository at certain periods in time. For example, if

1 you give me a certain point in time, I can look up on this  
2 curve that we show you on the poster the temperature and the  
3 corresponding relative humidity. So, there were questions  
4 during the dry runs pertaining to, well, when would you have  
5 a deliquescence or a particular type of solution occur on the  
6 waste package? So, those bars at the bottom correspond to--

7       CRAIG: Okay. Continue on, Mark. I'm reminded by Scott  
8 to ask people to speak into the microphone and identify  
9 yourselves, please.

10       PETERS: Okay, next one. I won't dwell on this. This  
11 is another one of horsetail plots, as we like to call them,  
12 for this time, Bin 11, showing the pH again up around 10.

13               Let's talk now about chloride-nitrate ratios.  
14 Again, we're still focused on the crown seepage waters, the  
15 potential waters that could seep. This particular  
16 calculation happens to be for one temperature and one  $P_{CO_2}$ .  
17 I should have mentioned back earlier that we've done this at  
18 three temperatures and three  $P_{CO_2}$ s, 40, 70, and 100 degrees  
19 C, and  $P_{CO_2}$ s at  $10^{-2}$ ,  $10^{-3}$ , and  $10^{-4}$  in terms of partial  
20 pressure of  $CO_2$ . We've also done uncertainty analyses down  
21 to  $10^{-5}$  in terms of partial pressure of  $CO_2$ . But, this shows  
22 nitrate/chloride ratio. That's a function of RH which is  
23 again--I'll call it a proxy--for evaporative concentration.  
24 That's my words. But, it shows how those Bins evolve in  
25 terms of nitrate/chloride ratio. This is particularly

1 pertinent to what Joe's going to talk about in terms of the  
2 presence of nitrate and how that affects localized corrosion.

3           So, back to the ternary and again the three Bins  
4 that are the most frequent in terms of relative frequency  
5 occurrence; Bins 4, 9, and 11 showing how they evolve. Bin 4  
6 shown in green, Bin 11 in the blue, and Bin 9 in the red  
7 showing where they start. This is really a graphical  
8 representation of what you saw on the table, where they start  
9 and how they evolve in terms of this idealized ternary. Why  
10 does Bin 4 start out in this idealized system in what looks  
11 like a calcium chloride brine field and evolves across the  
12 divide? That seems to violate thermal dynamics. It's  
13 because it's an idealized ternary. There's actually a slide  
14 in the backup that shows the evolution in terms of what's  
15 precipitating as you evaporate. It shows that there's a lot  
16 of other components driving why you're seeing that across  
17 that divide in this idealized system. So, we've taken  
18 potential seepage, developed the evaporation of that  
19 potential seepage and that results in a set of look-up tables  
20 as a function of RH temperature and all the species that then  
21 the model can then--TSPA can then go pull off of a look-up  
22 table and go in and say this is the environment as a function  
23 of time and temperature.

24           So, now, moving to deliquescence, this is a  
25 somewhat busy diagram just to try to help talk a bit about

1 deliquescence. We've talked about the evaporation process.  
2 You get water dripping in, evaporate and precipitate salts.  
3 There's also dust potentially gathered on the surface of the  
4 metals. You evaporate that towards dryness. As you  
5 evaporate it towards dryness, you get again a set of  
6 precipitates gathered on the surface that then, as a function  
7 of RH, can lead to deliquescence or generation of liquid  
8 films on the surface of the metals. The different  
9 deliquescent minerals will produce aqueous or deliquescent  
10 films depending upon their particular properties and the  
11 relative humidity conditions in the drift. Chlorides will  
12 have a different deliquescence point in terms of relative  
13 humidity than a nitrate, for example. Then, you go through  
14 the deliquescence process. So, you can actually produce  
15 liquid films on the surface of the metal at actually fairly  
16 high temperatures and relatively low RHs depending upon what  
17 the composition of the phase is on the surface.

18           So, now, let's talk a little bit about  
19 deliquescence. This is first leading off with a simplified  
20 system, sodium chloride-sodium nitrate at a specific  
21 temperature, 90 Celsius, showing a phase diagram as  
22 calculated by EQ3/6 and also some measurements that we've  
23 done in the laboratory. This is leading off with trying to  
24 show that we are, in fact--we're validating our model, we  
25 have confidence in our deliquescence model, and we're doing

1 similar types of calculations for other systems to gain  
2 confidence in our models.

3           Next, I talked about the fact that as you  
4 evaporate, you can build up deposits on the surface. That's  
5 an important component of deliquescence. That's accounted  
6 for within the deliquescence model in the in-drift chemistry  
7 model. What about dust? Dust from the surface can produce  
8 deliquescence. We've already said that. I've talked in past  
9 meetings about dust analyses that we've done, the U.S.  
10 Geological Survey has done. They've taken over 50 samples.  
11 They've done analyses of those dusts. Those dust  
12 compositions have been grouped into four likely categories in  
13 terms of their deliquescence behavior and then we modeled  
14 that with EQ3/6 to look at what the deliquescence RH values  
15 are for those four representative dust compositions. That's  
16 shown, I believe, in the next slide.

17           A graphical mistake on my part, these red squares  
18 should be up here on this line. I'm not sure what exactly  
19 happened. But, what this is showing is relative humidity  
20 this time on the Y versus temperature for the four  
21 representative dust Bins and how they evolve in terms of  
22 their deliquescence point as a function of temperature and  
23 relative humidity.

24           Next slide. So, we've accounted for the dust  
25 aspects of the problem in terms of deliquescence. Now, let's

1 talk a little bit about just deliquescence, in general, and  
2 particularly, the introduction of an evaporative salts on the  
3 surface. This is the piece that I'm going to touch on and  
4 Joe is going to also carry forward as he talks more about the  
5 metal degradation piece of the story. The objective here is  
6 to characterize the films that may form on the package,  
7 detect if there's any associated corrosion, and then measure  
8 how much corrosion. We've done these experiments. These are  
9 Livermore experiments that have been done in a  
10 thermogravimetric analyzer where you look at weight change.  
11 You fix the relative humidity and temperature. In most of  
12 the experiments, we've applied actually a deposit of a  
13 chloride or a nitrate and seen how that evolved through the  
14 function of temperature and then we look at the samples after  
15 we've exposed them for a period of weeks.

16           Next slide, just a nice picture of the apparatus.  
17 I'm not going to dwell on this one. I think Joe will  
18 probably touch on it in more detail.

19           Next slide shows the results at three different  
20 temperatures. Joe's got a slide that, I think, focuses  
21 mainly on the 150 degrees C data. What you're seeing here is  
22 the results of one experiment where we've deposited calcium  
23 chloride on the surface of Alloy 22 at fairly low relative  
24 humidities and its weight change is a function of time.  
25 These experiments have since been run out on the order of

1 weeks, but it's again showing weight change for three  
2 different temperatures. The 100 degrees C data shows that  
3 the calcium chloride is stable for the entire duration of the  
4 test. You go to the higher temperature data, 125 degrees C,  
5 you can see that the solution evolves slowly and you slowly  
6 form insoluble precipitates, whereas with the 150 C data, you  
7 form insoluble precipitates and then evolve acid gas which  
8 produces the weight change. When you look at the surface of  
9 the samples--and I'm not going to focus on this again; Joe is  
10 going to talk more about this--we see nor detect Alloy 22  
11 degradation in the presence of these deliquescent brines. We  
12 have characterized what precipitates out as you heat the  
13 metal surface with the deposited calcium chloride on the  
14 surface and those properties have been analyzed in order to  
15 understand how they evolve as a function of temperature.

16           So, a quick slide on what sorts of things we saw on  
17 the surface of that metal. SEM analyses were done that  
18 indicated that precipitates contained some substantial  
19 amounts of calcium, chloride, and oxygen. There was a wet  
20 chemical analyses done and Raman spectroscopy done, as well,  
21 and the precipitates were in all likelihood a mixed calcium-  
22 hydroxide-chloride phase. But, this is the kind of  
23 characterization that we're doing on all the deliquescence  
24 experiments to understand what sorts of things evolve when  
25 you introduce, for example, a calcium chloride coating on the

1 surface.

2           So, we've talked about potential incoming seepage  
3 waters, how they evolve by evaporation, deliquescence on  
4 evaporative minerals, deliquescence on dust, and what about  
5 condensate? You can see Bo alluded to the fact that we've  
6 seen evidence of condensation in the cross-drift. Perhaps  
7 out in this part of the evolution in the blue area down here  
8 when we're not even in the cooler area of the temperature-  
9 time evolution, you could see scenarios where you could get  
10 condensation on the metal surfaces of basically distilled  
11 water, but if there's dust on the surface, that could evolve  
12 to a brine. So, we've done a series--again, using the same  
13 dust analyses that I talked about when we were talking about  
14 deliquescence, we've done a series of calculations starting  
15 with those four--excuse me, starting with a representative  
16 set of dusts and evolving those through EQ3/6 and looked at  
17 how those evolved in terms of brines when you interact the  
18 condensate with the dust.

19           The next table, the next slide, shows the results  
20 of those brines. A similar kind of format to what I showed  
21 with the seepage water. Here, you've got six representative  
22 Bins, the relative frequency of occurrence of the Bins, let's  
23 see, where it starts in terms of its composition, and where  
24 it evolves to at its end point with its deliquescence point  
25 shown here in this column here, the end point RH. You see

1 they evolve and they evolve to nitrate or nitrate-chloride or  
2 bicarbonate brines. These dust leachates again are all part  
3 of the story that goes into the evolution of the in-drift  
4 chemical environment that results in a set of look-up tables  
5 that's used by the total system model to sample composition  
6 of the in-drift environment as a function of time.

7           What about committed drift materials? I have one  
8 slide on that just to point out that, yes, there are  
9 committed drift materials. They're important to consider in  
10 the story. The majority of the materials are metals, no  
11 surprise. There's a lot of different elements that could  
12 affect the chemical environment. These are really not  
13 anticipated--they're not anticipated to significantly change  
14 the conclusions. We've done EQ3/6 simulations looking at the  
15 effect of some of these materials on the in-drift chemical  
16 environment and the waters are not expected to change  
17 significantly in terms of ionic strength. Also, given that  
18 the environment is an open system, there will be sufficient  
19 oxygen to oxidize the committed materials and I'll talk more  
20 about the open system aspect as I move to the next phase of  
21 the presentation.

22           So, let's talk a minute now--go ahead and go to the  
23 next one. Let's talk for a minute about the open system  
24 aspect of the drift or of Yucca Mountain first. Bo and I,  
25 for that matter, in previous meetings have talked extensively

1 about observations in the cross-drift behind closed  
2 bulkheads. Bo has also presented results of comparing radon  
3 measurements versus what he would expect to see in terms of  
4 radon in the tunnel. We look at barometric pressure  
5 observations from surface-based boreholes from years back, as  
6 well as ongoing measurements of barometric pressure  
7 variations in the drift scale tests and other tests and you  
8 also do air permeability tests. All those indicate that it's  
9 a well-connected fracture network. These are my words, the  
10 mountain breathes. All those in-situ observations are  
11 consistent with the UZ flow model. And, finally, and I'm  
12 going to talk more about this, we are doing some modeling and  
13 also looking at the natural convection tests that were done  
14 at Atlas, and when you look at a closed drift segment in  
15 terms of what would go on inside a drift, you know, I've  
16 already been hammering home that the UZ is an open system.  
17 When you look at gas phase flow within the drift itself, you  
18 get significant mixing on fairly short time scales within the  
19 drift. And, I've actually got an animation that hopefully  
20 will hammer that home.

21           Next slide, just a slide that talks about the piece  
22 on radon and also air flow in the drifts. This bottom  
23 graphic here shows the radon measurements versus predictions  
24 and also the barometric pressure data. It's also important  
25 to point out all boreholes have intra-borehole gas flow.

1 We've just got a wealth of evidence that there's barometric  
2 pumping within the system and it's an open system at Yucca  
3 Mountain.

4           So, what about within the drift? We've developed a  
5 model to analyze heat and mass transfer. It's been developed  
6 at full scale to look at repository scale effects or drift  
7 scale effects within the repository. The simulation that I'm  
8 going to show you is actually going to be a quarter scale  
9 simulation that was used to do some test design calculations.  
10 But, it's using a CFD code FLUENT. It's a representative 14  
11 waste package segment modeled over 70 meters. When you look  
12 at the preliminary results of those calculations, there's a  
13 significant component of axial transport and it's several  
14 orders of magnitude higher than molecular diffusion. You get  
15 significant mixing expected along the drift.

16           Can we try to run that movie? Don't start it yet,  
17 Denise, okay?

18       CORRADINI: What are the boundary conditions on the  
19 ends?

20       PETERS: Closed.

21       CORRADINI: So, hermetically sealed?

22       PETERS: Yeah. And, the wall is going to be closed,  
23 too. I didn't run the simulation. So, I know you're going  
24 to ask me a lot of very detailed, very good questions about  
25 how it was done and I'll have to some extent probably say we

1 can get you the answer because the PIs aren't here. But,  
2 what you've got here is you've got a representative--this is  
3 again a quarter scale calculation. These are each individual  
4 packages--let's call them packages--along the drift. And,  
5 what we're going to do here, the drip shields are in the  
6 model. This is similar to a calculation that's being done  
7 for the real repository scale. This is just a representative  
8 animation just to give you a feel for the kind of mixing that  
9 we're expecting. It's going to march through time and this  
10 is in seconds. So, it's going to introduce particles at this  
11 end and you're going to see them evolve along the drift and  
12 how they evolve as air flow as you mix in the drift. It's  
13 going to run all the way out to 600 seconds or 10 minutes.  
14 The particles are going to change color as they get older.  
15 Okay? So, you can run it to like--I think, we talked 595 or  
16 so. We're going to introduce particles here, you can see as  
17 they actually transport along the drift. You get effects  
18 from the cooler packages versus the--the hotter packages  
19 versus the cooler packages. There is just pulses of  
20 particles being added periodically. I believe, it's very two  
21 seconds at this end--every two minutes, pardon me, two  
22 seconds, I think. There's also interesting effects. If you  
23 look at a picture down the drift, you can see the effects of  
24 the drip shield. You get flow under the drip shield and flow  
25 over the drip shield.

1           PARIZEK: Can you point out the level to which it might  
2 occur?

3           PETERS: Where the--

4           PARIZEK: The drip shield top is right here.

5           PETERS: Right about there.

6           PARIZEK: Okay. No wonder it breathes, it's alive.

7           PETERS: And, this is for a close drift. So, you're  
8 getting actual transport just due to the temperature gradient  
9 within the drift.

10          NELSON: Nelson, Board. When you say closed drift, that  
11 means there's no--

12          SPEAKER: Mass loss.

13          PETERS: No mass loss.

14          NELSON: So, no air is entering through the rock?

15          PETERS: Right. For this simulation.

16          CRAIG: Do you have any idea what the oxygen content  
17 will be when it's above-boiling? Have you looked at that?

18          PETERS: What's the air mass fraction? Bo, are you  
19 here? What's the air mass fraction in the drift above-  
20 boiling for the repository? I don't recall.

21          BODVARSSON: (Inaudible).

22          PETERS: Yeah, I just don't--

23          BODVARSSON: (Inaudible).

24          PETERS: Yeah.

25          CRAIG: But, the mountain is breathing. So, oxygen

1 could be coming in from the outside. You're non--not in  
2 this--

3 PETERS: Not in this simulation.

4 CRAIG: Not in this simulation, but in real life.

5 PETERS: You can freeze it. Go ahead and freeze it,  
6 please?

7 What I want to focus on is the fact that you're  
8 introducing particles at this end and you can see--let's  
9 take, for example, these fairly old particles. They're  
10 spread throughout this segment of the drift. My point is is  
11 that you get significant mixing just within the drift not  
12 even taking into account the fact that the rock--you're also  
13 getting significant mixing from the unsaturated zone itself.  
14 That's my point. I think that's important when you start  
15 talking about can you sustain environments where you, say,  
16 distill a pore water down to where you generate very, very  
17 acidic acids. Can you sustain those kind of environments  
18 locally within the drift? I would argue this is a piece of  
19 the argument that says no way, even if you could generate  
20 them.

21 PARIZEK: Would that have happened if those were uniform  
22 temperature packages?

23 CRAIG: Speak into the microphone.

24 PARIZEK: The question I asked, whether or not it would  
25 have happened if they were uniform temperature packages?

1           PETERS: Just by straight diffusion. But, the  
2 transport--the diffusion (inaudible) scales, I wouldn't  
3 think--it wouldn't occur to this extent because you're  
4 getting acts of transport due to the fact that you've got  
5 different temperature packages. You'd get some diffusion,  
6 but it wouldn't be over that (inaudible) scale would be the  
7 way I'd answer it.

8           So, let's try the next slide. So, let's go back to  
9 the system evolution, the three regions. Just to  
10 reemphasize, you're got the orange area, the drift will be  
11 dry, you're above-boiling. There's little possibility that  
12 you'll get any seepage. The surface of the metals are  
13 expected to be dry. That's not to say that there couldn't be  
14 deliquescence, but no seepage. You've got an open system.  
15 Convection is turbulent inside the drift. You've got an open  
16 environment. Development of concentrated distillation of  
17 inorganic acids is very unlikely. Although deliquescence is  
18 possible, it's not expected to produce localized corrosion  
19 and the in-drift chemical environment is expected to be  
20 benign.

21           Next slide, moving into the transition region here  
22 right around the boiling point, the rock above the drift is  
23 cooling through the boiling point, moisture returns, seepage  
24 may enter the drift. You still get a capillary effect that  
25 diverts seepage. It's still likely to be much less than

1 percolation flux. Bo when through that extensively. The  
2 relative humidity starts to go up and begins to approach 100  
3 percent at the drift wall. You still have this same open  
4 environment inside the drift. Again, concentrated  
5 distillation of inorganic acids is considered very unlikely.  
6 Deliquescence can occur, but it not expected to produce  
7 localized corrosion. And, the in-drift chemical environment  
8 is expected to be benign.

9           Moving to low temperature, I won't dwell on this, a  
10 lot of the same observations. The bottom line is we expect  
11 the in-drift chemical environment to be benign.

12           Next slide--that's it.

13           CRAIG: Okay. Questions? Okay. Ron?

14           LATANISION: Latanision, Board. When you make the  
15 comment in your summary that deliquescence is likely to  
16 occur, but unlikely to lead to corrosion, are you speaking of  
17 unwelded sections of metal or are you thinking of all of the  
18 possible configurations that might be present in the package?

19           PETERS: I'm speaking at it in terms--Joe might answer  
20 this differently. But, I'm speaking at it in terms of what  
21 sorts of brines--what sorts of phases and brines one might  
22 produce at the surface and they tend to be nitrate. You  
23 don't tend to get chloride type deliquescence brines.

24           LATANISION: No, I understand that, but I think there is  
25 an indication that welds and thermally treated sections

1 behave differently than--

2       PETERS: Right. And, I'm going to do just what Bo did  
3 to me. He's going to talk about the materials degradation  
4 piece. But, seriously, Ron, he's the guy to talk about that.  
5 I'm not the guy to talk to about it.

6       LATANISION: Okay, fair enough. Yeah.

7       BULLEN: Bullen, Board. Could we go to Slide 31,  
8 please?

9       PETERS: Yeah.

10       BULLEN: I was interested in the 55 samples taken by the  
11 USGS. Do you think that this is a representative sampling of  
12 all the dusts that are possible in the repository? I mean,  
13 how all encompassing is that?

14       PETERS: It's data that we have available. What it is  
15 is it's dust--and Zell will steer me where I veer off. It's  
16 taken from tunnel walls. So, it includes components  
17 introduced construction, water use associated with  
18 construction, and also dust introduced through the  
19 ventilation system. We're using the same kinds of materials,  
20 you know, conveyor belts. So, I would say, you know, I don't  
21 think we're doing anything dramatically different as we  
22 construct the--it's something we would be doing in the  
23 repository. So, I have no reason to say that it wouldn't be  
24 representative.

25       BULLEN: Okay. Bullen, Board, a follow on that. Would

1 you expect a dust composition to change affected by the  
2 thermal pulse?

3       PETERS: Good question. I'd have to look at the--I  
4 mean, it's coming from rock dust primarily. The stuff that's  
5 coming from rock dust, I wouldn't expect to because it's  
6 well-within its stability range.

7       BULLEN: Bullen, Board. But, if I have evaporated and  
8 concentrated salts somewhere and now I have potentially  
9 calcium chloride and now I have moving air or convective--

10       PETERS: Right.

11       BULLEN: Can I move dust that might not be the same 55  
12 samples that were taken here and--essentially, since you  
13 showed us the nice animation, you could entrain that dust and  
14 move it just about anywhere.

15       PETERS: Right.

16       BULLEN: I would assume, right?

17       PETERS: So, you're thinking of a scenario where you  
18 have dust sitting on the surface somewhere at a given  
19 temperature, you move it somewhere else where it's out of its  
20 stability range, and it changes face?

21       BULLEN: It could be that or it could be made of dust  
22 that's not the same 55 samples that you have here. That  
23 would be a more aggressive dust species because I've  
24 concentrated it in some other form and then I move it.

25       FARMER: Actually, in regard to the deliquescence

1 measurements, we have tried--we have done deliquescence  
2 measurements with mixed salts, but we've also done single  
3 component salts. If you'll think back about the ternary,  
4 we've actually been doing deliquescence measurements at the  
5 apex of that triangle which is the worst case scenario. At  
6 least, worst case in that we have a divalent cation that can  
7 undergo hydrolysis reactions.

8       PETERS: The other answer I would do is I would go dig  
9 into the output that Woolery got when he did the  
10 deliquescence or the dust leachate calculations as a function  
11 of temperature because if there is any--I would bet that  
12 we've bracketed the potential phases that could occur, but I  
13 would need to defer to Woolery on that.

14       BULLEN: Bullen, Board. Well, my thought process is  
15 that you mentioned that you couldn't make Bins 1 and 2 water,  
16 but I could still make the salts from Bins 1 and 2 water on  
17 the side or on the bottom of the drift and I can move them?

18       PETERS: Well, that gets back--I'm struggling with how  
19 you do that. You're saying they--how do they--they come into  
20 the drift?

21       BULLEN: Well, actually, can I take the waters from Bins  
22 1 and 2 and concentrate them to make dust that would include  
23 calcium chloride?

24       PETERS: And, that's what Joe's point is is those are  
25 part of the program. We're looking at those worst case

1 deliquescence brines in our program. He's been--

2 FARMER: One thing we're finding--

3 CRAIG: Joe, could you identify yourself when you speak  
4 just to make life a little easier for the readers, please?

5 FARMER: Yes, sir, my apologies. My name is Joe Farmer.  
6 I'm from Livermore Lab. So, one thing about the calcium  
7 chloride dust that might evolve, we have looking at  
8 deliquescence and corrosion underneath those deliquescent  
9 films. One general observation we make is that corrosion  
10 underneath a calcium chloride deliquescent film at very high  
11 temperature, 150 degrees Centigrade, close to the  
12 deliquescent point, is not the same as aqueous phase  
13 corrosion below the boiling point of a much more dilute  
14 calcium chloride solution. And, in fact, the more dilute  
15 solution can be more aggressive. So, I think we also have to  
16 be careful not to overly generalize, you know, what aqueous  
17 solution is. We talk about deliquescent brines as if they're  
18 your standard aqueous electrolyte, but there are differences  
19 in terms of transport, kinetics, and many other things that  
20 go on in these solutions. Much more complicated than that.

21 BULLEN: Bullen, Board. One last question and that  
22 deals with drift degradation. I mean, there's another  
23 opportunity for movement of dust and that's if things fall  
24 from the ceiling. I'm assuming that everything doesn't stay  
25 in place forever. So, have you considered that during your

1 evaluation of the deposition of dust, I guess, is the  
2 question?

3       PETERS: In terms of the kind on of compositions that  
4 would be introduced?

5       BULLEN: Yeah?

6       PETERS: That's rock dust.

7       BULLEN: Bullen, Board. It's rock dust if it's not  
8 modified by the thermal pulse, right?

9       PETERS: Oh, we already--I thought we went through that,  
10 but to me, that's rock dust.

11       CRAIG: Dave?

12       DUQUETTE: Yeah. Duquette, Board. Could you go to  
13 Slide 26, please? This was one that there was a lot of  
14 questions about early-on. And, I'm just a dumb metallurgist  
15 and need to understand the chemistry a little bit.

16       PETERS: Okay.

17       DUQUETTE: Could I treat this almost as a symmetry type  
18 situation forgetting for the time being the bars on the  
19 bottom where initially you're starting out with a dilute  
20 solution, and as you get evaporation because of increasing  
21 temperature when you're first emplacing all of the things,  
22 you're increasing the concentration of the salts?

23       PETERS: Right.

24       DUQUETTE: Okay. And then, as a function of time after  
25 some long period of time, water comes back into the vault and

1 dilutes the salts again, is that correct?

2 FARMER: I think that's a perfect interpretation.

3 PETERS: Yes.

4 DUQUETTE: Okay. I want to understand. Now, if you go  
5 to the next slide which is Slide 27, what that would imply is  
6 that as--I mean, I think of nitrate as being an inhibitor for  
7 localized corrosion in many cases. So, what that means is  
8 after long periods of time, the nitrate-chloride  
9 concentration would decrease. So, your inhibitor to  
10 aggressive ion situation would decrease as a function of  
11 time, is that also correct? Going from right to left now.

12 PETERS: Yeah, but I'm going to--we're going from right  
13 to left, right.

14 DUQUETTE: Yeah, yeah, because--

15 PETERS: You clarify as I go along if you need to. I'm  
16 still going to want to try to tie this--this is relatively  
17 high temperature here.

18 DUQUETTE: Correct.

19 PETERS: You're at low RH, relatively low RH. So,  
20 you're--

21 DUQUETTE: Correct. And, as I started to seep water  
22 back into the--and I start to dilute the salts again, I'm  
23 going to flip the balance between nitrate and chloride to be  
24 a little bit aggressive. In my case, we're going to make the  
25 solution more aggressive.

1           PETERS: Right, but I'm also going to be moving down  
2 here where I'm not as concerned about localized corrosion.  
3 That's the key point here.

4           DUQUETTE: No, no, I understand that, but the fact of  
5 the matter is that we're making the assumption that your time  
6 base models are correct and that you're not off by an order  
7 of magnitude.

8           FARMER: I think that you're right on the right path and  
9 Mark is, I think, leading us in the right direction for the  
10 answer. It turns out that the highest temperature where  
11 we're above the critical temperature for localized corrosion,  
12 let's say, crevice corrosion, we actually have an abundance  
13 of nitrate inhibitor. So, as you'll see in the next  
14 presentation, we have enough nitrate inhibitor so I think  
15 that it protects our waste package quite well.

16                   As we lower the temperature in the repository and  
17 we start having a lower nitrate to chloride ratio, less  
18 inhibitor per a number of aggressive ions, we are  
19 transitioning into the temperature regime of below which we  
20 can have localized attack even in the absence of inhibitor;  
21 let's say, pure calcium chloride.

22           DUQUETTE: Thank you. That's where I was heading with  
23 that argument. Thanks.

24           CORRADINI: So, to go back to your--I don't know which  
25 slide it is, but to go back to how you link up with what Bo

1 and the previous speakers--Corradini, I'm sorry.

2       PETERS: The great flow chart?

3       CORRADINI: Yeah. What is the handoff? I should have  
4 asked it at the point. Is it a time handoff, is it a  
5 temperature handoff? What exactly is the connection between  
6 them? What is the logic in the analysis?

7       PETERS: Yeah, let me get back to the slide. It will be  
8 easier.

9       CORRADINI: Okay. Sorry, I don't know the number.

10       PETERS: 10 or 11?

11       CORRADINI: It's the one with your boxes.

12       PETERS: Evolution--let's go back, Denise, scroll back.

13       CORRADINI: It's 14.

14       PETERS: Okay, thank you. Bo talked about up to here.

15       CORRADINI: Right.

16       PETERS: He's got a THC model for all the grid blocks as  
17 a function of time, water compositions within those grid  
18 blocks as a function of time.

19       CORRADINI: Uh-huh.

20       PETERS: Those results are looked at in terms of their  
21 spatial--spatially, let's use that word, and when I talk  
22 about crown waters, I focus in on just the waters that could  
23 potentially seep.

24       CORRADINI: And, what is done so that that--that gets to  
25 my question. So, you've explained very well the chemistry of

1 what could get in and what could have deliquescence. How do  
2 they get in? What is the assumption right now in the  
3 analysis of how they get in? Why I ask, you keep on--

4 PETERS: It's tied back to the seepage model in terms of  
5 volume and amount and all that.

6 CORRADINI: So, some fraction given the total  
7 infiltration or flow path?

8 PETERS: Right, right.

9 CORRADINI: Some fraction of that goes in?

10 PETERS: Right.

11 CORRADINI: Okay.

12 PETERS: And so, we look at it spatially first because  
13 there could be grid blocks way over here that don't map for  
14 our purposes.

15 CORRADINI: So, again for analysis just so I can think  
16 through the story, at what point is seepage disallowed in  
17 this thinking process? All the way through--I'm going to use  
18 your purple band over there--all the way through 1,000 years  
19 because it's above 100 C?

20 PETERS: We will allow--I'm evaluating potential waters  
21 even if Bo says they won't seep.

22 CORRADINI: Right. Right. So, I'm asking, the  
23 connection there is when are they allowed to seep from an  
24 analysis standpoint in the current thinking?

25 PETERS: That's probably more his answer. When are they

1 allowed to seep?

2       BODVARSSON: Hello, Bo Bodvarsson. The framework we are  
3 putting together here gives all the components to total  
4 system performance assessment for their evaluation. Our  
5 results indicate that there will be no seepage during the  
6 thermal period when there is boiling at the crown of the  
7 drift.

8       CORRADINI: Okay.

9       BODVARSSON: So, assuming that that is probably going to  
10 be used in TSPA perhaps with some modification to be a little  
11 bit more conservative in some cases because we have to  
12 discuss which to use in the total system performance  
13 assessment, but I expect it to be some version that has  
14 almost zero probability for seepage during the thermal  
15 period.

16       CORRADINI: So then, my question--don't go anywhere  
17 because I still don't understand the connection. I want to  
18 understand the story of how the water goes. Does that  
19 exactly occur for what's underneath so that is if there is no  
20 water to get there, there's no water to transport the  
21 radioactivity away. Correct? Is that a consistent  
22 assumption in the current analysis? Because the thing that  
23 was said in a sentence by you that struck me was if I can't  
24 get the water there, I have no mechanism to diffuse the  
25 radioactivity away from the package even if it's failed.

1 Have I misunderstood?

2 PETERS: No, that's what Bo said.

3 CORRADINI: That's what I thought I heard you say.

4 PETERS: In his presentation?

5 CORRADINI: Yeah. Do I have that? I want to make sure  
6 I'm clear.

7 BODVARSSON: No, you are absolutely clear on the  
8 following. What I say is this. If there's no seepage into  
9 the drift and there's no water coming into the drift and if  
10 the waste package fails for some reason, then the only way to  
11 transport the waste is way of diffusion because the diffusion  
12 does not require advection to happen. Diffusion can happen  
13 through the (inaudible) and into the rock. It is an  
14 extremely slow process that takes thousands and thousands and  
15 thousands of years. So, in a sense, you are absolutely  
16 right. If there's no seepage coming in, the waste is  
17 probably going to sit there for a long, long, long time.

18 CORRADINI: Okay.

19 BODVARSSON: Does that--

20 CORRADINI: I think I've got it. Thank you.

21 CRAIG: Okay. Dave Diodato?

22 DIODATO: Defer to Dr. Nelson first and then I'll go  
23 after.

24 CRAIG: Oh, excuse me. Oh, go ahead, Dave. We'll make  
25 Priscilla wait.

1 NELSON: Go ahead.

2 DIODATO: Oh, okay, thanks.

3 CRAIG: You were in line first.

4 DIODATO: Diodato, Staff, I'm sorry. Mark, on your  
5 Slide 32, you show the dusts that were analyzed and, I guess,  
6 my understanding is the same as Dr. Duquette's in terms of  
7 the nitrate being a corrosion inhibitor, right?

8 PETERS: Yes.

9 DIODATO: So, it's pretty fortuitous that you either  
10 have sodium-nitrate or potassium-nitrate or calcium nitrate  
11 in every one of these samples from inside the mountain. And,  
12 what I'm wondering is would that also be the case from  
13 exogenous dusts that were saved from Forty Mile Wash or  
14 somewhere else on the mountain? Do all dusts have nitrate  
15 compounds in them? Is that the case?

16 PETERS: The dusts that we--I don't know. Zell, we  
17 haven't analyzed Forty Mile Wash dust. We haven't gone out  
18 and analyzed Forty Mile Wash dust? Yeah, come on up.

19 DIODATO: Geologically, I mean, you might be able to  
20 intuit something.

21 PETERS: Yeah, but that could be theoretically airborne-  
22 -part of the airborne component that comes in is the answer.  
23 I guess, I'm a little hung up on what you said by  
24 fortuitously it all ends up being--

25 DIODATO: Well, because it's corrosion--it's there and--

1           PETERS:  And, that's a good thing.

2           DIODATO:  Yeah, it's fortuitous.

3           PETERS:  I don't know if it's fortuitous.  That's what  
4 the data tells us, I guess.  Okay.

5           PETERMAN:  Zell Peterman, USGS.  That's the other part  
6 of the equation which we don't have a good handle on yet is  
7 the ambient atmospheric dust at Yucca Mountain.  And, I think  
8 the thinking is that in the long-term, you know, after the  
9 repository is loaded and hundreds of years down the road,  
10 it's going to be that atmospheric dust that may get into the  
11 repository.  Now, here are dust collectors in Nevada.  
12 There's one over by Red Rocks and the composition has been  
13 used there, but it's probably dominated by carbonates in the  
14 (inaudible).

15                   And, just one other comment, Scott Tyler at DRI has  
16 looked at soil compositions and he's got a paper out and the  
17 desert soils are amazingly high in nitrate.  So, I would  
18 expect that dust from Forty Mile Wash or any other soil in  
19 the vicinity of Yucca Mountain to be similar to that.  His  
20 work is over in Frenchman Flat, but it's just remarkably high  
21 in nitrate.

22           DIODATO:  Okay, thanks.

23           CRAIG:  Priscilla and then Carl.

24           NELSON:  Nelson, Board.  Three fast questions.  What  
25 kind of bolts are you using?

1           PETERS: I'm not sure exactly. I think, they're split  
2 sets.

3           NELSON: Okay.

4           PETERS: No grout.

5           NELSON: Okay. Have you done any tests of the rock on  
6 thermal cycling, just the rock like to see whether it spalls  
7 and deteriorates?

8           PETERS: You're familiar with the plate--we've done the  
9 plate loading tests, three of them, in the ESF here in the  
10 last year or so where we drove the rock to failure if  
11 that's--

12          NELSON: No, I--

13          PETERS: And, one of those was done at elevated  
14 temperatures.

15          NELSON: No, I just mean like an index test to identify  
16 whether the lithophysal rock deteriorates on thermal and  
17 humidity cycling?

18          PETERS: At a drift scale, have we done that kind of  
19 test? We've done laboratory experiments looking at, you  
20 know, strength as a function of strain rate. You're familiar  
21 with all that stuff that the Board's been--

22          NELSON: Well, I'm not thinking about slaking, per se,  
23 but some sense of rock material deterioration on thermal  
24 cycling.

25          PETERS: Well, we've got empirical observations from the

1 drift scale test.

2       NELSON: Which really haven't been through thermal--see,  
3 I'm just wondering about--

4       PETERS: They've simply taken out--

5       NELSON: --and whether a thermal cycle causes  
6 deterioration in the rock.

7       PETERS: Well, we've done--I mean, I don't know what  
8 else to say. We've done lab experiments at elevated  
9 temperatures, cycled varying strain rates. We've got  
10 empirical observations from the drift scale test on what a  
11 drift does as you heat it up and now cool it.

12       NELSON: Well, the drift scale test is not in the  
13 lithophysal rock. I'm just looking for--I mean, if you put  
14 it under stress and heat, then you're going to have a  
15 combination of drivers.

16       PETERS: Right.

17       NELSON: I'm just wondering about thermal cycle? When  
18 you take a rock, heat it up, dry it out, re-saturate it, does  
19 it deteriorate the rock? Just curious.

20       PETERS: Go ahead, Bill?

21       BOYLE: Bill Boyle, DOE. You're testing my memory. I  
22 think we have insights into this as a result of preparing  
23 specimens for testing. The rocks at Yucca Mountain are  
24 partially saturated with some varying degree of saturation  
25 which introduces uncertainty in the results. What effect did

1 the saturation have on whatever property it is we were  
2 attempting to measure. So, in many of our testing programs  
3 for years, we decided to test it to end-member states, 100  
4 percent saturation and 0 percent saturation. And, the method  
5 used commonly to get the 0 percent saturation was heating.  
6 So, we would heat the rocks to drive out the water until we  
7 got them bone dry, if you will, and then we would test them.  
8 And so, I know that we--and then, they would be allowed to  
9 cool and then we would go test them for whatever property we  
10 were interesting in, whether it was thermal conductivity or  
11 whatever. Off the top of my head, I'm not aware of any gross  
12 difference between the results of specimens that went through  
13 this thermal cycle versus those that didn't. There's an  
14 obvious difference between saturation and non-saturation,  
15 though.

16       NELSON: Nelson, Board. I remember asking this question  
17 about two of three years ago. Just simply, does the rock  
18 deteriorate on thermal cycling? Not associated with stress,  
19 just thermal cycling and re-saturation. And, it seems to me  
20 that this is a question that could be of interest because  
21 that's the mechanism that may indeed make dust whether you  
22 have a stress situation on the outside or not. It would seem  
23 that you could evaluate this fairly easily.

24       PETERS: Okay.

25       NELSON: So, that's why I ask it. Okay. Finally,

1 tunnels are really interesting environments because people  
2 work in them and live in them while they're under  
3 construction. I'm wondering when you took the dust samples  
4 if you looked for any evidence of Sally's bugs?

5       PETERS: They measure again a carbon in the dust. We've  
6 got--they didn't do a microbial analysis in terms of what  
7 kind of microbes occurred in the dust, I think, is the direct  
8 answer to your question.

9       NELSON: Are there any thoughts or plans to see if there  
10 are microbes in the dust?

11       PETERS: As of right now--go ahead, Zell? Zell has  
12 raised his hand. As he's walking up, as you know, we've got  
13 bugs growing in the cross-drift, and that, we've  
14 characterized extensively. That was growing on, what I'll  
15 call, introduced materials.

16       NELSON: Yes.

17       PETERMAN: Zell Peterman, USGS, again. We sent three  
18 samples to AECL of Pinawah to the biologist up there and she  
19 cultured them and they grew very nice molds and some sort of  
20 penicillin type, the same sort of thing that's growing in the  
21 cross-drift. So, yeah, there are bacteria in the dust.

22       NELSON: Nelson, Board. Is there any possibility of  
23 having such microbial activity involved in any of the  
24 corrosion?

25       PETERS: Yes is the answer. As soon as we observed what

1 ended up being penicillin in the cross-drift, the person who  
2 we had come down and take the samples and to the  
3 characterization was Joann Horn who is the PI for the MIC  
4 work at Livermore. So, that's an ongoing program and she's  
5 brought that into her thinking as she thinks about MIC.

6 NELSON: And, that will eventually be brought into the  
7 story that's told about--

8 PETERS: That's another part--yeah, I mean, if you  
9 wrote--you couldn't theoretically write the coupled processes  
10 as where's the M and where's the B, where's the mechanical  
11 and where's the biological.

12 NELSON: No, I just--because so many people with  
13 engineering training will first seek to understand things  
14 physically and then chemically if they have to. The last  
15 thing is biologically.

16 CRAIG: Okay. The last question is Carl Di Bella.

17 DI BELLA: Thank you. This is again about Slide 32,  
18 Mark, your dust--I should have--

19 PETERS: May I shouldn't have put that one in there,  
20 huh?

21 DI BELLA: I hadn't seen it before. First of all, just  
22 let me remark in preference to my question. I'm sort of  
23 surprised by these extremely, to me, low-looking  
24 deliquescence points at higher temperatures for things like  
25 sodium-chloride, sodium-nitrate mixtures. And, I assume that

1 you calculated this by a model and don't really have any  
2 experimental confirmation for the high temperature results.  
3 But, my question really has to do with how you model these  
4 because my recollection from looking at Zell's paper given at  
5 the Highlands Waste meeting was that the heated elemental  
6 analysis on the dust, he didn't do a salt analysis on the  
7 dust and I hope he comes up and confirms or says it wrong.  
8 So, it would seem to me for your modeling, you would have to  
9 sort of assume that is dissolved in water and then evaporated  
10 to dryness and see what sort of chemical divide kind of  
11 results you get and what sort of deliquescence comes out of  
12 that. But, that's not exactly what's going to happen. If  
13 you get deliquescence, it's going to depend on the salts that  
14 are there already. They're already dry in the dust.

15 PETERS: Right.

16 DI BELLA: And, the things that deliquesce first are  
17 going to be your lowest deliquescence point salts which are  
18 going to be magnesium-chlorides if there are magnesium-  
19 chlorides present. I know magnesium there, I know chlorine  
20 is there. I don't know if it's there as magnesium-chloride.  
21 So are early calcium chloride or mixtures of the same. So,  
22 can you answer my quest--well, my question is this. Did Zell  
23 analyze the salts or did he just analyze the elemental  
24 composition of the dust?

25 PETERS: You don't need to walk up. You just analyzed

1 the elemental compensation of the dust?

2 PETERMAN: We did both.

3 PETERS: Okay. I'll repeat what he says.

4 PETERMAN: (Inaudible).

5 PETERS: Okay. He looked at both the insoluble and  
6 soluble fraction, but in terms of the phase--I think, in a  
7 way, Carl, I know what you're saying. You're saying the  
8 phases that occur in the dust and how that goes through the  
9 deliquescence process. Yet, you answer the question the way  
10 it was modeled as best I can tell. You take the composition,  
11 it's got these components, and you put it through EQ3/6. You  
12 don't assume certain phases to start with. You put that  
13 compositional space through EQ3/6 and it evolves to that.

14 DI BELLA: Right.

15 PETERS: So, is it mechanistically the same as what  
16 you'd expect? No. Is it telling you the same chemistry? I  
17 don't see why not.

18 DI BELLA: If you have a dry salt, what's going to  
19 deliquesce first is going to be the lowest deliquescent point  
20 material as you come down from any thermal peak.

21 PETERS: That's a good point. And, there may be details  
22 within the model that I'm just not prepared to speak to.

23 CRAIG: Okay. Time to hold that one until coffee break  
24 or something or later on. Mark, thank you very, very much.

25 Joe Farmer has appeared so often here that I'm only

1 going to say welcome, Joe, and I'll give you a bell when  
2 you've got 10 minutes to go. How many total minutes? Total  
3 minutes is 50, I think. Yeah, 50.

4 FARMER: Well, during this part of the presentation, I'm  
5 going to concentrate on telling you about the--

6 CRAIG: The microphone is not working, Joe.

7 SPEAKER: Maybe it's not turned on, Joe.

8 FARMER: Can you hear me now?

9 SPEAKER: No.

10 CRAIG: Okay, it took a while to activate. Okay.

11 FARMER: At any rate, in this part of the presentation,  
12 I would like to tell you about what we know in regard to  
13 materials performance. And, more importantly, and unlike  
14 perhaps some of our earlier presentations to you, I would  
15 like to cast what we know about materials performance in  
16 regard to our integrated strategy. And, as Bill told you  
17 this morning and then followed up by both Bo and Mark's  
18 presentations, we have worked very hard since the last Board  
19 presentation to try to pull together an integrated story.  
20 And, this is very crucial for the materials strategy because,  
21 obviously, as we discussed at the last Board meeting, given a  
22 sufficiently aggressive environment, you can destroy  
23 virtually any engineered material. So, it's very important  
24 that we have a realistic idea of what our environments are.  
25 As Mark and Bo have both told you, we can subdivide

1 the operation of the repository into three general  
2 temperature regimes. There is the dry-out region which is a  
3 relatively high temperature region and generically I would--  
4 based on Bo's presentation, I would characterize the dry-out  
5 region as that region line above the boiling point in the  
6 repository. And, we have very specific sets of mechanisms  
7 that are operable in regard to materials degradation in the  
8 dry-out region. We heat-up through the dry-out region and  
9 then we cool down through the dry-out region. During the  
10 initial phase of operation of the repository, we have two  
11 mechanisms drying out the walls of the drifts. We have the  
12 ventilation which will dry the drift walls even without the  
13 presence of heat. We have radioactive decay. The  
14 radioactive decay will tend to further dry-out the drift  
15 wall. Once we reach a peak temperature and the waste  
16 packages being to cool, we eventually pass through the  
17 deliquescence point. And, now, as you see from Mark's  
18 presentation, as we pass through that deliquescence point, we  
19 can use those evaporative concentration curves and use RH as  
20 a look-up parameter and now go in and actually assess the  
21 local environments on the waste package surface. So, we pass  
22 first through the deliquescence region and that deliquescence  
23 actually occurs in the dry-out region of operation.

24           Eventually, we reach a point where we cool below  
25 the boiling point. As we saw from Bo's presentation, as we

1 cool below the boiling point, we have the possibility of  
2 seepage brine entering the drifts. Now, we don't believe  
3 that's a very large probability or that there's going to be  
4 much seepage, but it is possible. So, at this particular  
5 point, we have to start taking into account actual aqueous  
6 phase corrosion. And, I will differentiate that from the  
7 deliquescence type corrosion because, frankly, the  
8 performance of the material that we observe in deliquescent  
9 brine versus aqueous electrolyte is very different.

10           We continue to cool the waste package surface, and  
11 at this particular point--and as we present the poster, we  
12 haven't really committed. We're not telling you if the  
13 threshold temperature for localized corrosion overlaps with  
14 the dry-out or if it's in the transition zone or perhaps  
15 slightly below. But, at some point, we eventually pass  
16 through the threshold temperature for localized corrosion,  
17 crevice corrosion most probably in regard to the performance  
18 of Alloy 22. And, below that threshold temperature, frankly,  
19 it doesn't matter what the water chemistry is because at that  
20 particular point in time, if we establish the critical  
21 temperature for localized corrosion in a worst case brine,  
22 such as calcium chloride, we realize that at any temperature  
23 below that threshold, the waste package material will protect  
24 us against that water chemistries of that nature or perhaps  
25 less aggressive. So, at that point, we become relatively

1 insensitive to water chemistry. So, as we look at collecting  
2 data, modeling the waste package, and assessing the  
3 performance of the overall system, we try to cast it in  
4 regard to these three temperature regions of operation; dry-  
5 out, the transition zone, and this blue region on the poster  
6 where we actually have protection by Alloy 22 even in worst  
7 case conditions.

8           So, Denise, if I could have the next slide? This,  
9 frankly, summarizes the general attributes of the repository  
10 as we understand it. We believe now that the waste package  
11 is protected by different mechanisms in the three temperature  
12 regimes as I just discussed in regard to the poster. I think  
13 most importantly, as we look at this very carefully, I think  
14 we also realize that the dry-out region provides an  
15 additional barrier for the waste and additional protection  
16 for the waste package material. So, frankly, as we look at  
17 this, we actually see a very beneficial effect of having this  
18 high temperature zone of operation. Recalling some of the  
19 historical rationale behind having the high temperature mode  
20 of operation, this was one of the initial views by the  
21 thermohydrologists who promoted the high temperature mode.  
22 We also believe that the project's overall strategy is  
23 consistent with conceptual models being developed by other  
24 experts in the field. In particular, a presentation recently  
25 given by Professor Payer from Case Western received, I think,

1 very high marks at the AC&W meeting.

2           So, in the next slide, I'd like to borrow from  
3 Joe's presentation. Joe represents a different metallurgical  
4 conditions by these ellipses, and frankly, my chart is not  
5 quite as good as Joe's. So, I will show you Joe's next.  
6 But, I think it's a very nice convention. He, in essence,  
7 gauges the closeness of an environment to cause corrosion by  
8 the closeness of these ellipses. This ellipse represents a  
9 range of metallurgical conditions that might allow a material  
10 to be susceptible to growths of attack and the environment  
11 ellipses represent a range of environmental conditions that  
12 might actually cause corrosion of waste package material.  
13 And, the closeness of these two ellipses, in essence, is a  
14 gauge of how close you are to having attack. So, as we try  
15 to apply this general graphical convention to the strategy  
16 that we've laid out to the poster, we believe that during the  
17 ventilation and initial heat-up, we have essentially dry  
18 conditions and there's very little corrosion of the waste  
19 package material.

20           As we enter the very hot regions of dry-out, we  
21 believe that we've pushed the conditions that cause corrosion  
22 further away from the metallurgical condition for corrosion  
23 and have any less chance for attack. The primary regions  
24 that we're worried about are as we pass during cool-down  
25 below 150 degrees Centigrade which corresponds to the

1 deliquescence point of calcium chloride or perhaps the  
2 boiling point because here we can have the existence of  
3 aqueous phases on the waste package surface and the  
4 possibility for a localized attack.

5           Next slide, please, Denise? So, in this particular  
6 slide, I just wanted for accuracy to show you Professor  
7 Payer's original rendition. I may have altered the  
8 interpretation slightly, but this is certainly what we have  
9 gotten out of his graphical representation, and frankly, it  
10 was very helpful for us in terms of trying to integrate our  
11 strategy over the last few months.

12           Next slide? As we've said at previous meetings and  
13 some points are worth making again and again, we have  
14 actually picked a very, very good material. I think as I  
15 speak to you today, I would like to point out that our  
16 materials selection has, indeed, been reviewed by many  
17 international panels. And, through all these reviews, people  
18 have recommended, of course, that we collect more data,  
19 perhaps that we do measurements in a different way, but no  
20 one has really recommended a better material. And, frankly,  
21 the reason for this is we've picked an incredibly robust  
22 engineering material.

23           Next slide? As we have formulated our models,  
24 we've tried to formulate predictive models that could use  
25 parameters that are easily measured in the laboratory. It's

1 very easy to formulate a theoretical model where the  
2 parameters are so difficult to measure that the model is  
3 virtually worthless.

4           So, as we formulated our model for localized  
5 corrosion, we decided to quantify the propensity for  
6 localized attack in terms of the Delta E value. This is the  
7 potential difference between the open circuit corrosion  
8 potential, that equilibrium potential that the metal surface  
9 tends to reside at unperturbed, and the potential where the  
10 passive film breaks down.

11           As we look at different types of materials that we  
12 might use for construction of a waste package and, in  
13 particular, looking at the 300 Series stainless steels and  
14 the nickel-based alloys that we've considered in this  
15 program, a general rule of thumb is we observed that as we  
16 increased the overall concentration of chrome, molybdenum,  
17 and tungsten in these alloys, we tend to push the threshold  
18 potential which can be quantified either as the breakdown  
19 potential of the passive film or the potential at which that  
20 depassivated surface repassivates. We tend to push that  
21 Delta E value to higher and higher levels. And, of course, I  
22 also make the point that there are materials out there that  
23 have a higher threshold potential for breaking down the  
24 passive film, for example, the titanium alloys such as we're  
25 using for construction of the drip shield. Frankly, the

1 reason that the titanium material wasn't used for  
2 construction of a waste package is this opens up a whole new  
3 can of worms. The nickel-based alloys are not nearly as  
4 susceptible to hydrogen embrittlement as is the titanium-  
5 based alloys. It turns out that if you get into the  
6 literature, you find that there's a lot more known and  
7 published about a mechanism such as stress corrosion cracking  
8 than there is of a hydrogen embrittlement of titanium alloys.  
9 And, from some of our early measurements, we also understood  
10 that there was a lot of hydrogen absorption in titanium  
11 crevices. So, we felt that overall the selection of these  
12 nickel-based alloys with lots of chrome, molybdenum, and  
13 tungsten to push the breakdown potential of the high values  
14 was a prudent choice.

15           Next slide? Here are some real data collected a  
16 while back, but still quite relevant. This shows the  
17 breakdown of the passive film of 316L, one of our earlier  
18 candidates for the waste package in simulated saturated  
19 water. And, as you'll see later in this presentation, this  
20 SSW electrolyte at the boiling point is, in fact, a realistic  
21 environment to do testing in. So, you can see that in the  
22 particular case of this material, you have breakdown of the  
23 passive film, pit initiation, very open to the open circuit  
24 corrosion potential. So, clearly, with a material like this,  
25 a little bit of gamma radiolysis and other effects could push

1 you over the edge, so to speak. So, this is why we didn't  
2 choose the 316.

3           Next slide? If we take Alloy 22 and this very  
4 concentrated brine solution at 120 degrees Centigrade which  
5 turns out to be the boiling point of this near saturation  
6 salts solution, we see that we have to push the potential to  
7 a very high level and, actually, we never break down the  
8 passive film. We begin to evolve oxygen on the surface of  
9 the material, but we never break down the passive film  
10 because we have, as you can see, this negative going  
11 hysteresis loop as we reverse the potential scan. So, in  
12 this realistic repository water, SSW, we have a very good  
13 resistance to localized attack.

14           Yes?

15           CORRADINI: Can you walk us through the arrows for the  
16 uninitiated?

17           FARMER: Sure. Normally, in these potentiodynamic  
18 tests, one begins at the open circuit corrosion potential and  
19 the test that we have done historically, we normally let a  
20 sample sit in the solution for perhaps 24 hours. Then, we  
21 initiate a potential scan that scans are sufficiently slow so  
22 that most people practicing the art believe that at any  
23 particular potential level, you've achieved equilibrium.  
24 Normally, you're operating at perhaps tenths of a millivolt  
25 per second, very slow scan rates. And so, one of these

1 curves takes, frankly, quite a long time to generate.

2           As you ramp the potential in the anodic direction,  
3 you eventually reach a level where a number of things can  
4 happen. One thing that can happen, of course, is that you  
5 can break down the passive film and getting anodic  
6 dissolution of the underlying metal surface. And, of course,  
7 that's a very undesirable effect. Another thing that can  
8 occur, as in this particular case, is one can start to evolve  
9 oxygen on this anode surface which is what you're observing  
10 here and then you eventually reach a very high level, here  
11 1.2 volts. This is just about the thermodynamic viscous of  
12 water and you can reverse the potential scan. If I have  
13 broken down the passive film during this forward going  
14 potential scan, I would observe a positive hysteresis loop  
15 because I will be passing much more current on the way down  
16 than I observed on the way up. However, is there no  
17 breakdown at the passive film, I see what is generally a  
18 negative going hysteresis loop as we observe here.

19           And, I might also point out, we don't just rely on  
20 these potentiodynamic curves because, as many of the  
21 corrosion sciences will tell you, many people regard reading  
22 polarization data alone very much like reading tea leaves.  
23 So, we certainly don't do this. Every curve that we collect  
24 is collected by, in this, traceable standards. We gave these  
25 all catalogued. They're in the project's database, and going

1 with this, we also have archival samples, for example. If  
2 you come to Livermore, we can actually show you DEA 033. We  
3 can also show you all the macro photographs to go with that,  
4 SEM, and other data to compliment this.

5           So, the point being Alloy 22, frankly, is a very  
6 good material selection.

7           Next slide? Now, today, I'm going to concentrate  
8 on telling you about the measurements of corrosion breakdown  
9 and repassivation potential as we use those measurements to  
10 understand these three temperature regimes and the resistance  
11 of the waste package degradation especially in the transition  
12 region and the cool-down region. But, as I discuss these  
13 measurements with you, I think it's important to realize that  
14 this is not the whole story. For example, just a few minutes  
15 ago, we were discussing microbial growth and the impacts of  
16 microbial growth. We've had a microbial corrosion program at  
17 Livermore for almost a decade now and, frankly, it's probably  
18 one of the two best microbial corrosion programs in the  
19 United States, the Army having the other one. So, we're very  
20 proud of the work that Joann Horn is doing and we have, in  
21 fact, assessed the corrosion performance of Alloy 22 in many  
22 of our waste package materials in a variety of microbial  
23 solutions. We normally run these against sterile standards  
24 to make sure that we have a good basis of comparison. But,  
25 today, I'm going to concentrate on sharing with you some of

1 our measurements of corrosion breakdown and repassivation as  
2 it pertains to the expected waste package surface  
3 environment.

4           Next slide, please? As we've told you before, we  
5 have a number of tests systems at the project's corrosion  
6 laboratories in Livermore. We have long-term corrosion test  
7 tanks. These have processed now over 15,000 samples, all of  
8 this traceable. Contrary to what's been said in some past  
9 meetings, these environments as you saw from Mark's  
10 presentation are, in fact, relevant. These are all brines  
11 that form in the bicarbonate region of the ternary. So, we  
12 would characterize these as being representative brines. We  
13 also quantify stress corrosion cracking and use banks of  
14 traceable potentiostats that do these measurements of  
15 breakdown potential.

16           Next slide, please? As I walk you through my  
17 presentation, first, I would like to discuss with you the  
18 formation of deliquescent brines and the types of degradation  
19 of the waste package material that we've seen in these  
20 deliquescent brines.

21           Next slide, please? As Mark showed you, as we do  
22 the deliquescent studies either looking at the process of  
23 deliquescence from different types of salt deposits or as we  
24 look at the degradation of the waste package materials  
25 underneath those deliquescent brines, we use the

1 environmental thermogravimetric analyzer built by Greg  
2 Gdowski at Livermore. And, Greg has done a very nice job of  
3 building this apparatus. It enables us to be sensitive to  
4 weight changes as small as tenths of micrograms. So, this is  
5 a very high sensitivity TGA even by TGA standards. And, it  
6 allows us to operate up to temperatures of 150 degrees  
7 Centigrade which is particularly important in assessing the  
8 deliquescence of the calcium chloride brines.

9           Next slide? Here are some data taken from the TGA.  
10 We've shown you other data like this in the past, but you  
11 see the initial absorption of water. The initial absorption  
12 of water in the deliquescence process is followed by the  
13 thermal disproportionation of that deliquescent brine with  
14 the liberation of, in this particular case, hydrogen-chloride  
15 and eventually we reach a nice stable regime and the laser  
16 has died. But, we eventually reach this nice stable region  
17 where we have no further deliquescence and also no additional  
18 corrosion or attack of the waste package surface. So, we  
19 have very good quantification on the processes that occur  
20 during the deliquescence.

21           Next slide, please? Here, you see panels that the  
22 header reads temperatures above 110 degrees Centigrade.  
23 We're actually tying this into the dry-out region of the  
24 poster. But, the temperature at which these data were  
25 collected, it was 150 degrees Centigrade, just about the

1 maximum temperature that you would be concerned about with  
2 the calcium chloride salt. Greg intentionally coated the  
3 samples with dry calcium chloride salt. We exposed these to  
4 different humidities until we get the formation of a  
5 deliquescence brine. And, in essence, the take-away point  
6 from this particular slide is that with the lesser materials,  
7 such as Alloy 825 and Alloy 825 was one of our early  
8 candidates, we do, in fact, see a localized attack in these  
9 deliquescent type solutions. However, if you look at Alloy  
10 6--I shouldn't say--I started to say the trade name. But, if  
11 you look at Alloy 22, you see that it has very, very good  
12 corrosion resistance underneath these deliquescent brines.  
13 These white spots that you see are actually the calcium-  
14 hydroxy-chloride that Mark mentioned to you before. We've  
15 determined that through a number of analyses including a  
16 Raman and elemental analysis.

17           Next slide? And, here are some SEM analyses, just  
18 a repeat of one that Mark showed you showing that we have  
19 actually gone in and imaged these white deposits to make sure  
20 that they are white deposits and not corrosion products and  
21 that is, indeed, the case.

22           Next slide, please?

23           LATANISION: Joe, what was the--

24           FARMER: Sure, Ron?

25           LATANISION: Latanision, Board. Just out of curiosity,

1 what was the time--the length of duration of the tests in the  
2 previous--

3       FARMER: Most of Greg's experiments range from several  
4 weeks, typically three weeks to several months. That might  
5 be a couple or three months. And, in this particular panel,  
6 I would have to look back at the database to be certain, but  
7 I think that was something on the order of a month that I  
8 just showed you.

9       So, again, I think the take-away point in regard to  
10 the deliquescent brine story and corrosion of a waste package  
11 is that if you're up in this dry-out region, you can have the  
12 formation of deliquescent brines, but from studies like this,  
13 we know that those deliquescent brines are not going to have  
14 any significant impact on the corrosion of the waste package.  
15 So, I think that's the important point that we're trying to  
16 make with the deliquescent brine studies.

17       LATANISION: Latanision, Board.

18       FARMER: Yes?

19       LATANISION: May I ask my question again about whether  
20 welds make a difference in this discussion?

21       FARMER: Welds probably do make a slight difference. We  
22 are looking at age samples. You've been there to Livermore,  
23 I know, and we have the long-term thermal aging facility.  
24 So, we can simulate welds by doing extreme thermal aging or  
25 we can actually measure welds directly. And, studies like

1 that have been done. I think my recollection is that the  
2 results are similar, but what I will do is I will get some of  
3 the weld data for you. I should have brought that, but  
4 didn't. I will get that data to you.

5           Next slide? So, now, I'd like to move from the  
6 topic of deliquescent brine formation that's relevant to the  
7 dry-out region of the poster and now I'd like to tell you a  
8 little bit about the types of processes that occur as we cool  
9 the waste package down to the boiling point with the  
10 possibility of brine seepage into the drifts. So, as we have  
11 the possibility of brine seepage into the drifts, it's  
12 important for us to understand the aqueous surface  
13 environment that could occur on the waste package surface.  
14 This gets into a lot of the calculations using EQ3/6 and the  
15 EBS surface chemistry model that Mark shared with you. So, I  
16 would say unlike perhaps a year ago, we now have a model that  
17 allows us to assess with some degree of certainty what these  
18 waste package surface environments are likely to be.

19           Next slide, please? This is showing you again  
20 something that you saw in Mark's presentation, but the  
21 primary point of repeating this is I just want to make the  
22 point that these are observed waters. Some of them fall in  
23 the three phase fields; calcium chloride type brines, sulfate  
24 type brines, and bicarbonate type brines. But, the important  
25 point, a brine that starts anywhere in this ternary will

1 eventually evolve to one of the corners. And, if you'll  
2 notice the yellow datapoints, our test solutions, are very  
3 close to the corners in this triangular chart. So, our test  
4 waters that we've used over the years to evaluate the various  
5 waste package materials are, in fact, bounding. So, this is,  
6 as Mark said before, the take-away point.

7           Next slide, please? This shows probabilities of  
8 occurrence of different types of evolved brines in the  
9 repository. And, of course, over the last year, the project  
10 has spent a considerable effort evaluating the calcium  
11 chloride type scenario. Now, it's very important to  
12 understand this because, clearly, 1 percent of our waste  
13 packages failing is still unacceptable to us. You know,  
14 we're striving for very high standards. But, the important  
15 point to note is the two brines that would be closest to a  
16 pure calcium chloride have almost no probability for  
17 occurring. This third calcium chloride type brine has a very  
18 significant nitrate level in it. In some of the slides that  
19 will follow, you'll see that we have enough nitrate in these  
20 solutions so that we don't expect the corrosion--the  
21 localized corrosion to be particularly problematic, perhaps  
22 with the exception of the welds and we're taking steps to  
23 make a better look at that.

24           Next slide, please? We have actually gone in and  
25 we've calculated for various of these water compositions,

1 both the chloride-nitrate ratio, and as you'll see in the  
2 following slide, the nitrate-chloride ratio. Bins 1, 2, 3,  
3 and 4 are the four Bin water compositions that fall in that  
4 calcium chloride regime meaning that if you apply this sort  
5 of very simplistic theory that you would expect those perhaps  
6 to evolve to a pure calcium chloride type brine. Now, the  
7 important thing about looking at Bins 1, 2, 3, and 4 and as  
8 you look at the nitrate-chloride ratio, you see, in essence,  
9 there's quite a lot of nitrate there.

10                   Next slide, please? And, as Professor Duquette  
11 points out, it's much more appropriate to actually look at  
12 the ratio of the nitrate ion to the chloride because it's a  
13 measure of how much inhibitor you have present. So, as we do  
14 this, we see that most of these are clustered around a  
15 nitrate-chloride ratio of about 0.1. We're very happy to  
16 inform you that most of the tests that the project has done  
17 are also centered around this red line; the point being that  
18 we are testing in representative test waters. We're testing  
19 in solutions that have chloride-nitrate ratios or nitrate-  
20 chloride ratios, if you prefer, that are representative of  
21 these Bin waters and also waters that we observe at the  
22 mountain. These are some pore waters for the Paintbrush. I  
23 have some slides in the backup that--I put these on here,  
24 more or less, as a reference point, but if you plot the  
25 waters for the Topopah, you see some more results.

1 Representative waters, Bin waters, they all have this similar  
2 chloride-nitrate ratio.

3           Next slide? So now having some knowledge of what  
4 our surface environments are realistically--and again getting  
5 back to the last meeting--there is a difference between  
6 what's possible and what's plausible. But, looking at  
7 plausible waters and measuring these potentials, I think we  
8 can start to have an accurate idea of how well the waste  
9 package can perform in some of these scenarios. And, again,  
10 these measurements pertain to the types of processes that can  
11 begin to occur in this transition region as we cool the waste  
12 package temperature down into this blue region. The  
13 performance is pretty much insensitive to any water chemistry  
14 because it's good in all.

15           Next slide? So, the objective of these cyclic  
16 polarization studies, potentiodynamic tests, are to quantify  
17 the threshold for localized corrosion in aqueous solutions  
18 that are representative of bounding--and I emphasize  
19 bounding--deliquescent brines and evaporated seepage waters.  
20 And, these are the very types of waters that Mark just  
21 discussed with you. So, frankly, thanks a lot to the folks  
22 at BSC and some of the other labs. I do think we're starting  
23 to get a very good hold on what these environments really  
24 are. We've tested at near-saturation, 18 molar chloride, and  
25 we have again tested primarily at two nitrate-chloride

1 ratios, though we have some data at other levels. But, the  
2 two that we worked primarily are 0 and 0.1, pure calcium  
3 chloride and calcium chloride with this level of nitrate  
4 inhibitor. And, we've made these measurements at  
5 temperatures as high as 160 degrees Centigrade. We've used  
6 two types of samples. The bare waste package surface in  
7 uncreviced regions would be best represented by the standard  
8 types of discs that are used in ASTM measurements of cyclic  
9 polarization, whereas we use a special multiple crevice  
10 assembly sample to mimic the effects of crevice corrosion  
11 that one might have at contact points; for example, where the  
12 waste package is sitting on the pallet.

13           Next slide? This shows one of our thermostatic  
14 potentiostats that is used to collect this polarization data  
15 and again we've linked our model to these potential  
16 measurements. It's a very good measurement and, frankly, a  
17 very good basis for a model. You can see that the reference  
18 electrodes are water cooled to make sure that they are giving  
19 us accurate measurements of potential if these heat up, if  
20 one runs into a problem as some investigators at other places  
21 have found. And, we also have a condenser on the head of our  
22 kettle where we do these corrosion tests. And, this  
23 condenser is particularly important because any volatilized  
24 or disproportionated mineral gas that might come off would be  
25 recondensed and fall back into our pot where we're doing the

1 corrosion test.

2           Next slide? This shows the multiple crevice  
3 assembly sample that's been used to determine many of our  
4 repassivation potential. The beauty of the multiple crevice  
5 assembly sample is that this scalloped crevice forming washer  
6 actually forms many, many crevices around this lollipop  
7 shaped sample. So, by forming these multiple crevices, we  
8 actually form these occluded geometries that can give rise to  
9 the types of hydrolysis reactions and the lowering of pH  
10 alluded to by the panel a few moments ago. So, the  
11 measurements of breakdown potential and repassivation  
12 potential that we're measuring in many cases are, in fact,  
13 representative of crevice surfaces.

14           Next slide, cyclic polarization. There are  
15 multiple ways for determining the breakdown potential or the  
16 threshold potential for localized attack. If you look  
17 through the scientific literature, you find that different  
18 sciences, different investigators, different institutes use  
19 different methodologies. So, in striving to please as many  
20 people as we possibly can, we've decided to actually evaluate  
21 our data by all three methodologies. For example, Method A,  
22 we measure the actual potential where we start to see  
23 breakdown of the passive film, at least, in those cases where  
24 this potential can be identified. And, in this particular  
25 case, we look at--as we start seeing these anodic excursions

1 in current density, we pick off the potential where the  
2 current density has risen to about 20 microamp per square  
3 centimeter. And, from our experience, we know that that's  
4 clearly in a regime where if we have had a breakdown of the  
5 passive film, that is a fairly good measure of that breakdown  
6 potential. Method B and Method C are both methods for  
7 determining the repassivation potential. And, it's a little  
8 bit of a chicken and an egg story. Until you have breakdown  
9 of the passive film, it's physically impossible to measure  
10 repassivation because first you have to have breakdown and  
11 then you're going to have repassivation.

12           If you have had breakdown of the passive film, you  
13 have two methodologies for determining the repassivation  
14 potential for the surface. One is what is referred to as an  
15 ER1 method and another is an ERP method. ER1, in essence,  
16 makes the fairly good assumption that the passive current  
17 density is around 1 microamp per square centimeter and this  
18 is very similar to what the NRC's Southwest Research Center  
19 does except in their particular case they make the assumption  
20 that this threshold is about 2 microamps per square  
21 centimeter. So, we draw a horizontal line across our  
22 polarization curve about 1 microamp per square centimeter and  
23 we see--we pick off the potential at which the negative going  
24 hysteresis loop intersects that threshold and that then gives  
25 us the repassivation potential. A second methodology which,

1 frankly, probably has a better founding in physics is  
2 actually the intersection point between the forward going  
3 scan and the negative going hysteresis loop. And, by picking  
4 off this crossover point, we actually pick off a point as we  
5 scan the potential of the surface and the negative direction.  
6 We pick off a potential that corresponds to a current  
7 density that we know is characteristic of a current density  
8 for a passivated surface. So, this is a fairly good  
9 indication during the negative going scan that this is, in  
10 fact, a repassivated surface. But, again, for our data, we  
11 use all three.

12           Next slide, please? As I move into the summary of  
13 the data of all the calcium chloride and calcium chloride  
14 with nitrate data, I would like to show you actually some of  
15 the polarization curves because, quite frankly, I think this  
16 gives you a much better feel especially for those of you who  
17 are experts as to how these surfaces actually behave in these  
18 calcium chloride solutions.

19           So here, as you see, 45 degrees Centigrade, a very  
20 concentrated 10 molar chloride solution, a multiple crevice  
21 assembly sample. So it is, in fact, crevice. We begin at  
22 the corrosion potential. We scan the potential in the anodic  
23 region. We go all the way up to 1.2 volts and this is the  
24 point when we began to electrolyze our solution. So, the  
25 reason we don't go higher is we're not limited by the

1 material, we're limited by the electrolyte. So, at this  
2 particular point, we have potential reversal. And, one thing  
3 I'm finding about getting older is my hands were steadier a  
4 few years back. But, I'm not nervous; I'm just having poor  
5 motor control. But, at any rate, as you reverse the  
6 potential scan and go in the negative direction, you can see  
7 that the hysteresis loop here is actually a little bit below  
8 what it was in the forward going scan. If we had breakdown  
9 of the passive film, clearly, we'd have a positive going  
10 hysteresis loop. That's not the case here. So, at 45  
11 degrees C, there is no breakdown of the passive film. Now,  
12 this has some complications for the person gathering the data  
13 because, for example, if your boss tells you to go out and  
14 measure the repassivation potential at 45 degrees Centigrade  
15 or you're fired, well, you better start looking for a job  
16 because there is no repassivation potential here. So, a  
17 very, very good measurement.

18           Next slide, please? Okay. As we go up in  
19 temperature, again we've got 10 molar chloride, a multiple  
20 crevice assembly sample, 90 degree Centigrade. We see that  
21 we do in this case have breakdown of the passive film. We  
22 start at the open circuit corrosion potential, we scan in the  
23 anodic direction, and we do, in fact, get breakdown of the  
24 passive film at this particular point. So, we can apply  
25 Method A and determine the breakdown potential here. Then,

1 we continue to scan up to some reversal potential then you  
2 can here during the negative point scan we do, in fact, have  
3 this characteristic positive hysteresis loop that is  
4 indicative of a depassivated surface. Now, at this  
5 particular point, we have crossover between the hysteresis  
6 loop and the forward going potential scan. So, at that  
7 point, we have a current density on the surface that  
8 corresponds to the current density of a--if we can go back a  
9 couple slides--I thought I was doing better with the  
10 presentation than this. Back a few slides, Denise, thanks.  
11 One more. This is good, thanks. Up one. Slide 29, there we  
12 go. So, we see that at this particular point, we have a  
13 current density that corresponds to a fully passivated  
14 surface. There are two methods again for determining the  
15 repassivation potential. One are these constant thresholds  
16 where we would look at the intersection of the hysteresis  
17 loop at about this 1 microamp per square centimeter level, or  
18 if you prefer, the NRC value of 2 microamp per square  
19 centimeter or the crossover point. The point being you can  
20 see that both of those potentials are quite close. The  
21 reason they're close is because people who accept those  
22 thresholds and various standards have a wealth of experience  
23 to draw upon.

24           Next slide, please? Here, additional data. This  
25 is at a very high temperature, 120 degrees Centigrade.

1 Clearly, we're up in this upper region of the transition  
2 region described to you by Mark. 10 molar chloride, very  
3 high chloride level, you can still see that there's a very  
4 good margin between the corrosion potential and the  
5 repassivation potential. So, we have no localized attack  
6 here.

7           Next slide, please? And, I might also point out  
8 those slides that I just showed you are with no nitrate  
9 inhibitor present. As we've discussed earlier today, the  
10 presence of nitrate is a very important feature. So, if we  
11 look at the 24 hour corrosion potential and these  
12 repassivation potentials determined by the crossover method  
13 or Method C, I believe, we see that we have a pretty good gap  
14 between the two. Our Delta E value is significant. And,  
15 just based on these corrosion values and these repassivation  
16 potentials, we would expect to localized attack. What I have  
17 done is I have drawn a green box--and I'll show you on a  
18 subsequent slide. We now have open circuit corrosion data  
19 for these samples after one and a half years and similar  
20 electrolytes. So, indeed, in this particular case, you do  
21 get some ennoblement, but it doesn't go any higher than this  
22 after the one and a half years, as you'll see in the next  
23 slide. But, this green box does represent the open circuit  
24 corrosion potential and the type of nobility that can develop  
25 with these samples after one and a half years. So, if I were

1 going to do an analysis here, I would look at the crossover  
2 between this red curve and this curve to determine at what  
3 point I might start having localized corrosion of the Alloy  
4 22 in this pure calcium chloride environment. Here, you see  
5 that this corresponds roughly to about 90 degrees Centigrade.  
6 Now, there are some other points there, but I think,  
7 frankly, given enough data, I would probably do that at or  
8 about 90 degrees Centigrade.

9           Next slide, please? These are actually the open  
10 circuit corrosion data collected for one and a half years at  
11 120 degrees C and 10 molar chloride. So, you can see that  
12 the open circuit corrosion potential does come up. If  
13 there's ennoblement, it comes up and hits a very constant  
14 value at around -150 millivolts versus (inaudible) electrode.  
15 So, you have a fairly constant corrosion potential there to  
16 compare against which, frankly, is good news because it's a  
17 very stable value. You know, it isn't continuing to  
18 (inaudible) for eternity. Okay?

19           Next slide? So, now I would like to turn your  
20 attention away from the pure calcium chloride environments  
21 which, quite frankly, are so harsh, they are unrealistic. I  
22 would now like to concentrate on showing you some data that  
23 have nitrate inhibitor present at appropriate levels. That  
24 is a nitrate to chloride ratio of about 0.1. So, here, you  
25 see data for a 5 molar calcium chloride solution with a .1

1 nitrate to chloride ratio at 90 degrees Centigrade. So,  
2 you're kind of right at the lower end of this transition  
3 zone. And, you can see in this particular case, there's a  
4 very large separation between the open circuit corrosion  
5 potential and the repassivation potential for a crevice  
6 sample with these severe occluded geometries. So, we have a  
7 voltage margin of about 600 millivolts. Clearly, this is  
8 enough for protection at 90 degrees Centigrade.

9           Next slide, please? We have similar measurements,  
10 but we're going up in temperature. Here, you can see that  
11 we're 130 degrees Centigrade. The calcium chloride solution  
12 at this particular point has the consistency of maple syrup.  
13 It's about 14 molar chloride again with a nitrate to  
14 chloride ratio of about .1 which we believe to be  
15 representative. And, you can see that we have a very good  
16 margin between the open circuit corrosion potential and the  
17 repassivation potential. So, again, I think most experts in  
18 the field looking at this data would conclude that this is a  
19 pretty good margin against localized attack.

20           Next slide, please? We've applied Methods A, B,  
21 and C to all of our data in all scenarios, but I didn't want  
22 to just show you all the charts today given the limitation of  
23 time. So, I showed you here basically the breakdown  
24 potential determined by the E20 method. That's looking,  
25 during the anodic going scan, the intersection of the current

1 excursion with the 20 microamp per square centimeter  
2 threshold. And, you can see that based on the breakdown  
3 potential which, frankly, is probably the truest measure of  
4 where the passive film breaks down, you have quite a large  
5 margin between the corrosion potential measured after 24  
6 hours and the breakdown potential. The green box represents  
7 the open circuit corrosion potential of an unwelded base  
8 sample after about one year, I believe. I think close to 13  
9 months, but about one year. And, here, you can see that very  
10 clearly, even looking at a corrosion potential as high as  
11 this, you still have margin at the boiling point when we  
12 would start seeing seepage come into the repository. Now, if  
13 we look at similar measurements for welded samples, we can  
14 see that the ennoblement with the welded samples--perhaps  
15 because of the precipitation (inaudible) phase--we do get a  
16 higher open circuit corrosion potential. So, you might say,  
17 well, perhaps there's a possibility of attack in the weld  
18 region of slightly below that boiling point. But, we're  
19 working on it to get additional data in this particular  
20 region. And, one more important point, as we look at this, I  
21 think we have to keep in mind that this represents, at best,  
22 somewhere between 0 and 1 percent of the possible water  
23 compositions. So, we're really--we're way out on the tail of  
24 the distribution in terms of water chemistry when we're doing  
25 these quantifications.

1           LATANISION: Latanision, one thing before you move on.  
2 In this case, you are plotting the breakdown potential not  
3 the repassivation potential. Is that correct?

4           FARMER: No, actually the previous slide was breakdown.  
5 Here, it's repassivation.

6           LATANISION: Okay. This time you're doing--okay.

7           FARMER: We have three methods. I showed you one  
8 representative curve for each method. The first one I showed  
9 you for the pure calcium chloride was Method C where we have  
10 a crossover point. We then show you the breakdown potential  
11 in Slide 35, the previous chart, and here, we are actually  
12 showing you--yeah, see, breakdown potential, the next slide,  
13 repassivation.

14          LATANISION: Joe, just for--again, on curiosity, how  
15 different in this case is the repassivation potential and the  
16 breakdown potential?

17          FARMER: They're very close together as you can see from  
18 those cyclic polarization curves that I showed you.

19          LATANISION: In that case, you answered my question. I  
20 would say you have a problem with welds.

21          FARMER: There is concern about the welds and, of  
22 course, this is why we're testing with the welds.

23          LATANISION: And, at very low temperatures.

24          FARMER: Well, very low temperatures in solutions that  
25 have a probability somewhere between 0 and 1 percent.

1           LATANISION: Well, okay, fair enough.

2           FARMER: Okay?

3           LATANISION: Yep.

4           FARMER: Okay. Next slide, please? And, just a more  
5 graphical illustration and I, frankly, show these just to tie  
6 back into the last presentation. As we showed you before, I  
7 show you one sample where you have the multiple crevice  
8 assembly and I think it's very important to point out that we  
9 actually push these to the point where we intentionally get  
10 crevice corrosion, but this crevice corrosion that you  
11 observe here occurs at the reversal potential. This type of  
12 attack never occurs close to the open circuit corrosion  
13 potential. So, we purposely fail the samples and then we  
14 look at the point as we reverse scan these where this crevice  
15 corrosion attack stops. That is the repassivation potential.  
16 But, again, nitrate has a very beneficial effect and gives  
17 you another 300 or 400 millivolts margin in terms of the  
18 performance of the material.

19                   Next slide? This is--again, we also have multiple  
20 crevice assemblies at this temperature, but these are disc  
21 samples. We push it to the point we're actually getting pit  
22 initiation in a disc at very high potential, very high  
23 temperature, and then we reverse the scan and, of course, we  
24 get a repassivation. Again, a very high margin between the  
25 open circuit corrosion potential and the repassivation.

1           Next slide, please? I believe, the science and  
2 technology program, if I'm not mistaken, is going to be  
3 pursuing some gamma pit experiments as the project did in the  
4 '80s where we actually look at gamma radiolysis effects on  
5 Alloy 22. Up to this particular point in time, we've  
6 simulated the effects of gamma radiolysis on the open circuit  
7 corrosion potential by doping the solutions with hydrogen  
8 peroxide solution. And, the point here is that at the  
9 maximum gamma dose, the greatest excursion in corrosion  
10 potential would be somewhere around 250 millivolts. It  
11 wouldn't change much more than that because at this  
12 particular point, the corrosion potential effect has pretty  
13 well been saturated and additional introductions of hydrogen  
14 peroxide do not further or increase the corrosion potential  
15 very much.

16           Next slide, please? Now, another nice thing about  
17 the dry-out region here, we experience the maximum hydrogen  
18 peroxide production at the maximum radiation dose and  
19 relaxing the temperature. Only one catch; there's no aqueous  
20 phase up here. So, frankly, those excursions that we see in  
21 open circuit corrosion potential due to gamma radiolysis  
22 would probably not be observed. By the time we have an  
23 aqueous phase even beginning to be possible on the waste  
24 package surface, the dose is down around .1 rads per hour and  
25 those effects that you see on gamma radiolysis are far below

1 what I showed in the previous slides. Clearly, that would be  
2 a worst case scenario.

3           Now, I would like to go--I think, just before I  
4 wrap up, go to a couple of the backup slides because I have,  
5 I think, another important point to make. Actually, I will  
6 tell Denise which slide we should go to. Let me see, if we  
7 could go to Slides 47 and 48, I think that would be valuable.

8           Okay. One of the things that we've been concerned  
9 about is this acid gas volatility, the fact that some have  
10 postulated that we might have substantial amounts of acid gas  
11 inside the repository. So, frankly, encouraged by some of  
12 our management, we decided to sort of do the standard back of  
13 the envelope calculation to see what the level of  
14 significance of these types of scenarios is. I realize, of  
15 course, those of you who are going to tell me exactly to two  
16 decimal places what the waste package diameter is. I realize  
17 that this is a hypothetical waste package. In my waste  
18 package, I use pure nickel, not Alloy 22. But, it's pretty  
19 close, I think, in terms of the orders of magnitude of  
20 numbers.

21           So, if I could have the next slide? Basically,  
22 what I've done is I calculated what the maximum amount of  
23 hydrogen chloride is that could come into the repository  
24 introduced by ambient seepage. And, of course, the ambient  
25 seepage, as you see from Bo's presentation, is far greater

1 than what we actually expect coming into the repository due  
2 to the thermal hydrology effects. But, if I look and count  
3 and use the--assume all that seepage water comes into the  
4 drifts and all of the chloride brought into the drift without  
5 seepage water is converted to hydrogen chloride gas and  
6 recondensed into HCl on the waste package and all of that HCl  
7 reacts with the waste package surface to make a nickel-  
8 chloride corrosion product, I see that under the worst,  
9 worst, worst case conditions, the maximum impact or the  
10 maximum amount of waste package material that could consume  
11 would be around 3 to 4 percent. So, this is may way of kind  
12 of assessing what the level of significance of this hydrogen  
13 chloride gas problem is.

14           So, at the encouragement of someone else who,  
15 frankly, is more experienced than I am, it was said that  
16 maybe a graphical illustration is good. And, I didn't make a  
17 pie chart for this, but let's say if this our waste package  
18 material, I think--I only had two pennies so I have to--the  
19 budget is down. But, these are my two pennies. That is kind  
20 of the order of magnitude of impact, I believe, this hydrogen  
21 chloride gas problem is compared to our waste package  
22 material.

23           So, with that final point, I'll go back to the  
24 summary slides which, I think, are--Slide 43 is the last  
25 slide. So, if I could back up from there. Back one more,

1 one more. There.

2           So, just to recap, again we've tried to illustrate  
3 for you that we have three logical temperature regimes in the  
4 repository. We have a high temperature dry-out zone. As the  
5 waste package cools through the deliquescence point, we have  
6 the possibility of deliquescent brine formation in this dry-  
7 out zone, but from doing corrosion studies there, we find  
8 that there's no significant impact of these deliquescent  
9 brines on the localized corrosion of the waste package  
10 surface. We further cool the waste package down to the  
11 boiling point, and as we know from Bo's work, at this  
12 particular point we can start having seepage come into the  
13 repository. So, we have to begin to worry about aqueous  
14 phase water chemistry as Mark has shown you. But, we know  
15 from doing a number of studies over the years in the aqueous  
16 phase electrolytes and which bicarbonate samples are, in  
17 fact, valid, there's not much localized attack. Eventually,  
18 we reach a threshold temperature which is probably somewhere  
19 between 90 and 100 degrees Centigrade. We've even in these  
20 worst case brines--let's say boiling calcium chloride near  
21 saturation--we have sufficiently good metallurgy to protect  
22 us. So, frankly, the waste package performance down here  
23 becomes fairly insensitive to water chemistry. I mean, it's  
24 okay in the worst case scenarios and it's certainly going to  
25 be okay in the lesser aggressive solutions.

1           So, without beating this any further, that I think  
2 is for all practical purposes our message. And, the last  
3 three slides, I've recapped those points.

4           So, thank you very much.

5       CRAIG: Thank you very much, Joe.

6       FARMER: Sure.

7       CRAIG: Mark, Dave--wait a minute, Mark, Dave,  
8 Priscilla, and Ron?

9       ABKOWITZ: Abkowitz, Board. I'm not an expert in this  
10 area which makes me, I think, qualified to ask the couple  
11 questions I'm about to ask. I'm interested in returned back  
12 to 30,000 feet and I'm going to ask you just two or three  
13 framing questions, if I could.

14           First of all, I might take away from the  
15 presentations that have come through with yours kind of  
16 closing the argument that the high temperature design that  
17 DOE is currently committed to will cause fewer corrosion  
18 problems than a low temperature design. Is that correct?

19       FARMER: Yes, and let me give two answers. Let me give  
20 --

21       ABKOWITZ: I only want one.

22       FARMER: Okay. Well, let me give my answer as a  
23 taxpayer and as a voter. As a taxpayer and a voter, not as a  
24 member of this project, as I look at this data, whether I'm a  
25 part of the project or not a part of the project, I prefer

1 the high temperature operation because, frankly, it does keep  
2 the waste packages dry. If you look at the number of  
3 problems that you mitigate with a dry waste package--for  
4 example, preventing microbial growth--I think it's a better  
5 design.

6 ABKOWITZ: Okay. I'd like to return to my question.  
7 Just a yes or no answer would be adequate.

8 FARMER: Okay.

9 ABKOWITZ: With the information presented today, can one  
10 reach the conclusion that the high temperature design will  
11 cause fewer corrosion problems than the low temperature  
12 design?

13 FARMER: I personally believe that would be the case.

14 ABKOWITZ: Okay. And then, secondly, how certain are  
15 you of that? Are you more than 90 percent certain of that  
16 conclusion?

17 FARMER: I haven't quantified my answer.

18 ABKOWITZ: Well, what will it take to quantify the  
19 uncertainty?

20 FARMER: Frankly, that's going to be done through the  
21 TSPA calculation. What we've done for you today is show you  
22 our database. We've shown you the data that we've collected,  
23 what we've quantified. The way that the actual performance  
24 assessment for the waste package will be quantified and  
25 calculated is to take these measurements that we have that

1 are being used by our TSPA group, they're being into  
2 probabilistic calculations, and this will then be converted  
3 into how confident I am.

4 ABKOWITZ: All right. Could you speculate on what  
5 aspects of the modeling effort you have the least confidence  
6 in, and therefore, that's where the uncertainty modeling  
7 attention needs to be focused?

8 FARMER: Well, you know, I'm an electrochemist or  
9 electrochemical engineer actually by training. So, I'm  
10 prejudiced towards the corrosion processes as are many in  
11 this room. I have a colleague next door who is a  
12 metallurgist and who is very partial to the precipitation  
13 kinetics problems. So, I think it depends, by and large, by  
14 who you talk to. Frankly, I'd rather work on corrosion  
15 problems. So, I tend to see more problems there.

16 But, to tell you the straight of it, I think,  
17 frankly, we've done a pretty good job of covering the bases.  
18 It's a very broad problem. We initiated--for example, let  
19 me go back to phase stability. One of the reasons that we  
20 shied away from the Hastaloys in our early '80s--I'm sure as  
21 Dan probably recalls--we thought that there would probably be  
22 phase stability problems. You know, we've initiated work  
23 with Larry Caulfed at MIT. He's using a lot of the  
24 expertise, you know, with the Caulfed modeling approach and  
25 we've calculated phase diagrams and now we have, frankly, a

1 fair degree of confidence in the phase stability of these  
2 materials at relatively low temperature. I think we need to  
3 collect more corrosion data. I think now that we have  
4 started to get handle, a very good handle, on the waste  
5 package surface environment--you know, you think about it.  
6 The last year because we didn't have perhaps the handle on  
7 the surface environment that we should have, we spent a lot  
8 of our effort making measurements on an environment that has  
9 a probability of 0 to 1 percent. Well, good, you know. This  
10 is a good thing to do and I'm glad we did it. But, I think,  
11 the thing we need to do now is we need to go back to some of  
12 these more realistic environments, the benign environments,  
13 and look at what the degradation scenarios are there. We  
14 have a lot of historic data there, but I think, you know,  
15 frankly, our researchers have gotten better, our techniques  
16 have gotten better, and I think now we need to go back and  
17 look at measurements in more realistic environments instead  
18 of just concentrating, frankly, on some of these things that,  
19 frankly, are probably overly weighted in terms of the  
20 resources that we're investing.

21 ABKOWITZ: And then, one final question. Assuming the  
22 direction of your conclusions, can we go hotter? Shouldn't  
23 we go hotter?

24 FARMER: Frankly, the limit on the waste package  
25 operation, you know, on--I think in terms of chemistry and

1 material science because that's what I do. But, we have a  
2 350 degree Centigrade limit on the waste package and that's  
3 determined by the thermal stability of the zircalloy cladding  
4 on the fuel. Okay. So, that's the upper limit for the waste  
5 package.

6           Then in the old days when we first started going  
7 our phase stability studies, we thought we were bounded to  
8 around 300 degrees Centigrade based on some very early  
9 sketchy data that we had for phase stability. We thought we  
10 were bounded to about 300 degrees Centigrade for the Alloy 22  
11 in terms of a place where you can operate for 10,000 years  
12 without precipitating a lot of phi, sigma, and mu phase which  
13 has embrittlement problems enhancing susceptibility to  
14 localized attack. Now, if you talk to Tammy Sommers and  
15 others who, frankly, probably have become some of the world's  
16 best experts in the phase stability of these alloys, you find  
17 that that limit is probably about 250 degrees Centigrade.  
18 So, I think the upper limit of waste package operation is  
19 bounded by the phase stability of the material; you know,  
20 things that we determine from time, temperature,  
21 transformation diagrams. The low temperature limits of  
22 operation or, I should say, the temperature limits of  
23 operation at lower temperatures where you might have these  
24 condensed aqueous phases is a force determined by a  
25 susceptibility to localized corrosion and stress corrosion

1 cracking. And, the stress corrosion cracking is a whole  
2 different story and we're looking at that and we have--we're  
3 doing stress mitigation and we have a whole program of stress  
4 corrosion cracking that we haven't even talked to you about  
5 much lately.

6 ABKOWITZ: Thank you.

7 CRAIG: Okay. Dave Duquette?

8 DUQUETTE: Duquette, Board. I guess, I'm a metallurgist  
9 that does corrosion. So, I guess, I sit in both offices.

10 FARMER: There you go. Great.

11 DUQUETTE: Could you go to Slide 31, please?

12 FARMER: Okay.

13 DUQUETTE: And, I would just like to correct or, at  
14 least, address some terminology. I'm not sure I want to say  
15 correct.

16 FARMER: You betcha. Okay.

17 DUQUETTE: But, the green solid line at the bottom,  
18 you've indicated is the corrosion potential. And, I would  
19 argue is the zero current potential which depends very much  
20 on how long you've decided to do your cathodic reduction and  
21 it depends on surfaces, it depends on surfaces, it depends on  
22 a whole bunch of things. You've shown unequivocally, I  
23 think, that the corrosion potential which is the free  
24 potential that it arrives at is quite a bit noble to that. I  
25 would argue that the only valid data on that curve that means

1 anything from an assessment of crevice corrosion is the  
2 dashed box versus the red line that intersects it. And, I  
3 would also argue that you should not look at the average of  
4 the repassivation potential, but the minimum in the  
5 repassivation potential for any experiments because if it can  
6 happen at that potential, it can happen in the long-term. If  
7 I do that, I drop my critical temperature, granted, without  
8 nitrate down to about 65 degrees or maybe 70 degrees Celsius  
9 and not up at that higher number. So, I'd like us not to be  
10 thinking of that lower line as a corrosion potential. It can  
11 be an artifact of the experiment as you already indicated  
12 because if you let it sit for a year and a half, it comes up  
13 to the upper potential.

14       FARMER: What you point out is absolutely correct. Now,  
15 one thing, though, that I would have to point out as a  
16 counter-argument is this was measured for a 24-hour exposure,  
17 as were these red data points. These red data points were  
18 not measured at a year and a half. What we need, quite  
19 frankly, and I think this is a place where some additional  
20 testing is needed getting back to the earlier question is I  
21 think we need to measure these breakdown and repassivation  
22 potentials of samples that have been sitting there for quite  
23 some time.

24       DUQUETTE: I fully agree.

25       FARMER: So, what we need--because, frankly, we've

1 measured a few of these and, you know, those give some rise  
2 for optimism because it isn't just this that's just in the  
3 anodic direction, you also get shifts of the upper curve.  
4 So, I'm in full agreement with you. Frankly, as we look at  
5 these curves, we are in positions where--you know, we get to  
6 a point where we have to kind of freeze what we know about--I  
7 mean, we're never going to know everything about any material  
8 or the repository, but we're going to have to build it. And,  
9 I think, it's very important that we have the very best  
10 design that we possibly can and we've done that.

11           But, I might also point out that while you have  
12 this intersection, this is why we've worked so hard to get  
13 these water chemistries that Mark described to you, 0 to 1  
14 percent, and frankly, the pure calcium chloride probably  
15 zero. In fact, as we looked and did all that binning  
16 process, none of those calculated waters fell in this  
17 category. They all had substantially more nitrate present.  
18 So, if you look in the curves that follow this, you find much  
19 more margin in regard to the resistance to localized attack.

20           DUQUETTE: Which brings me to the second part of my  
21 question. It has to do with the nitrate situation and  
22 relates back to what Mark had talked about a little bit  
23 earlier. You've assumed that the crevice corrosion  
24 initiation and propagation will all occur in the cool-down  
25 period, but you haven't set up any situation where you might

1 have crevice conditions or potential crevice corrosion  
2 conditions during the heat-up period while it's being put in  
3 place. That is that the water that's there gets into the  
4 crevice, doesn't cause corrosion then because you heat it up  
5 to some extent, may or may not boil out of crevices because  
6 of capillary situations, and then you're back in the cool-  
7 down period having set up an environment which doesn't have  
8 nitrate inside the crevice. And, it would be interesting to  
9 do some experiments where you purposely wet the surface with  
10 no nitrate and then did your experiments in a solution that  
11 contained nitrate to see if the nitrate was able to protect  
12 the inside of the crevice even though it's on the outside.

13       FARMER: That's a very good point. But, one thing--and  
14 I have to apologize because, frankly, there's a lot of  
15 historic data. You know, we have 17 years of data and it's  
16 hard to put it all in an hour, though we try. But, we did do  
17 some experiments, probably I'm thinking maybe it was five or  
18 six years ago, where we actually built crevice cells and we  
19 put microsensors in these cells and measured the pH in these  
20 crevices. We looked at, for example, the types of crevice  
21 corrosion attack that you would get and the pH suppression  
22 you would get in these crevices without nitrate inhibitor or  
23 without bicarbonate as a buffer and, you know, we would see  
24 predictable things occur. You would polarize a sample up to  
25 a particular point in time and then you'd start seeing the

1 lowering of pH in the crevice even before the passive film  
2 would break down and then eventually failure of the passive  
3 film. We would do similar experiments with realistic waters  
4 which at that particular time we were looking at things like  
5 SCW, you know, simulated concentrated water which is a very,  
6 very concentrated brine that has all the ions that you would  
7 encounter at Yucca Mountain. But, we would look at some of  
8 these expected waters, and frankly, you could polarize the  
9 sample with those crevices to incredibly high voltages and  
10 you would not see these hydrolysis reactions occurring in  
11 those occluded geometries. And, this is, I think, consistent  
12 with some other published work in the field. We did  
13 numerical simulations of that and drew similar results.

14           So, I think, as we've looked over the years inside  
15 these local environments using microsensors, we've seen that  
16 there's a very big difference in the types of hydrolysis you  
17 get in these occluded geometries with and without nitrate,  
18 with and without buffered ion.

19           DUQUETTE: Finally, there are, of course, a variety of  
20 ways to look at crevice corrosion resistance. One of those  
21 is the one most of us accept which is the one you've used  
22 here.

23           FARMER: Okay.

24           DUQUETTE: There's another school of thought that says  
25 the size of the hysteresis loop is a measure of the crevice

1 corrosion resistance of materials. As a corrosion scientist,  
2 wouldn't you be more comfortable if you had a material that  
3 had no hysteresis loop, at all?

4 FARMER: Oh, absolutely. You don't want the passive  
5 film to breakdown, at all. But, frankly, one of the problems  
6 that we ran into early-on a few years back is we were trying  
7 to assess what voltage to use as the breakdown potential. As  
8 you know, in many of these standards--for example, as we  
9 measure these repassivation potentials, it's sensitive to the  
10 technique that I use. If I pick a different reversal  
11 potential, I change the repassivation potential. If I change  
12 the scan rate, I change the repassivation potential. So, any  
13 time, in my mind as a scientist, if I start having a measured  
14 parameter that is a function of how I run the test, that's a  
15 cue to me that something isn't exactly as it should be in the  
16 testing methodology. But, even so, this is the standard  
17 methodology that we use in the field and I'm sure we all know  
18 this.

19 DUQUETTE: Duquette, Board. I can't disagree with you,  
20 at all.

21 FARMER: Yeah. Yeah. And, frankly, early-on, we were  
22 thinking the most rigorous way to do this is actually  
23 potentiostatic step methods where you keep stepping the  
24 potential to the point where you actually do see the surface  
25 depassivate. That's probably the most rigorous way of doing

1 it, but it's also the hardest, the most time-consuming, and  
2 for those reasons, the method that many people shy away from.

3       CRAIG: Okay. I have Priscilla and Ron and Dan. And,  
4 make your questions brief, please.

5       NELSON: Yes, sir. Nelson, Board. I'm certainly not an  
6 expert in this area, but I found two questions. One, I  
7 think, was nearly the same as Dave's second one which deals  
8 with the expectation that water is present before this chart  
9 starts.

10       FARMER: Oh, good point, yes.

11       NELSON: And, to what extent is that something that  
12 should be considered because I actually think there will be  
13 water present during the heat-up.

14       FARMER: Actually, I'm going to let Bo answer that  
15 question if he doesn't mind. He got Mark and I; so, we'll  
16 get him back now.

17       NELSON: Yes, the question--

18       FARMER: I've been looking for the ideal opportunity to  
19 pass it to him.

20       NELSON: Nelson, Board. The question doesn't deal with  
21 will there be water, but assuming that there is water.

22       FARMER: Okay, you bet.

23       NELSON: Now, talk to me.

24       FARMER: Okay. So, you assume there is water?

25       NELSON: Yes.

1 FARMER: Well, if you have water during the heat-up  
2 phase, clearly, I mean, you have--our criteria for whether or  
3 not you can have aqueous phase corrosion is do you have an  
4 aqueous phase? So, if you have an aqueous phase, we would  
5 argue, yes, you can have an aqueous phase corrosion.

6 NELSON: Nelson, Board. Can that be important in the  
7 overall expected performance assessment?

8 FARMER: Well, I actually read through some of the AMRs  
9 on thermal hydrology--not that I understood them, but I read  
10 them, you know, like the dutiful student--and what I did get  
11 out of reading them is it seems to me that as we go above the  
12 boiling point, you know, water kind of starts to leave the--I  
13 mean, the drift walls dry-out. In fact, before we start  
14 hearing up, if you pass ventilation through the tunnels, the  
15 surface of--the walls of our drifts right now at Yucca  
16 Mountain are dry.

17 NELSON: No, wait. No, I'm not asking you to explain  
18 the thermal hydrology. I'm just asking you to say if water  
19 is there during the heat-up, all right, up until the time of--  
20 -

21 FARMER: Hypothetically, if water is there?

22 NELSON: Yes, if it's there?

23 FARMER: Hypothetically, if I had a--

24 NELSON: Can it be important to your assessment of the  
25 life of the package?

1           FARMER: I would say yes, but--and let me caveat this.  
2 The beauty of the chemistry model that Mark outlined for you  
3 is on the old days, you know, we had to do very painstaking  
4 tests, as you have illustrated here, where we would actually  
5 go out and experimentally try to simulate these evaporative  
6 concentration events. With the modeling that we've now done  
7 that is bolstered by having done these experiments, we can  
8 now simulate the water compositions, the equilibrium water  
9 compositions we see on the way up and on the way down. By  
10 doing these binning type processes and knowing that, well,  
11 all of my waters are going to be represented somewhere on  
12 those 11 Bins, and if I evaporate one of those Bin waters,  
13 I'm going to have some water that is representative of what I  
14 see in the repository. It allows me to tie realistic  
15 conditions back to test environments. When I look at the  
16 types of waters that I expect on the way up or on the way  
17 down, I'm not thinking--based on what I've seen with these  
18 results, I'm not thinking there's going to be much calcium  
19 chloride there. Certainly, not a saturated boiling calcium  
20 chloride with no nitrate. No, I don't think that's very  
21 realistic. And, when I put realistic amounts of nitrate in  
22 there in an open system with all the other realistic  
23 constraints on the system--

24           NELSON: Including the microbes?

25           FARMER: Including the microbes.

1           CRAIG:  Okay.  I've got to break in here.  We've got two  
2 more quick questions.  Ron?

3           LATANISION:  I'd like to follow up on some of the--  
4 Latanision, Board.  I always forget that.  I'd like to follow  
5 up on a question that Dave Duquette was asking.

6           FARMER:  Okay, sure.

7           LATANISION:  And, if we could turn to Slide 7?

8           FARMER:  Okay.  Sure, Slide 7.  Okay.

9           LATANISION:  This is a schematic, admittedly, but I  
10 think it's very instructive to just walk through this  
11 quickly.

12          FARMER:  Okay, sure.

13          LATANISION:  As you point out, if you exceed the  
14 breakdown potential, a crevice will become activated.

15          FARMER:  Yes.

16          LATANISION:  And, as you drive the potential in a  
17 reverse direction, you'll reach a point at which the crevice  
18 will become repassivated or protected.

19          FARMER:  The outside film will reform.

20          LATANISION:  Right.  Now, that is, conceptually,  
21 something that I think is very clear in the literature and  
22 people would agree with.  But, the important issue here is  
23 from the point of view of determining whether or not a given  
24 metal or a given alloy is susceptible in service is where the  
25 corrosion potential lies relative to those, what I would

1 describe as, anodic kinetics that are shown in the hysteresis  
2 loops.

3 FARMER: I think that's true and that's what we try to  
4 capture with the Delta E value there.

5 LATANISION: Well, on that basis, Joe, I would say that  
6 all three of the metals you've shown here are resistant at  
7 that corrosion potential to crevice corrosion.

8 FARMER: Yes, exactly right.

9 LATANISION: Right. Now, on the other hand, if you  
10 allow the crevice potential to rise as you had shown in  
11 Slide--let's now go to Slide 37--36, sorry.

12 FARMER: Okay.

13 LATANISION: It's a companion to the one that Dave  
14 looked at. What you're now showing in this slide by virtue  
15 of the change in the dashed green box that you have described  
16 as being typical of the base metal--

17 FARMER: Right.

18 LATANISION: --you've shown a considerable ennoblement,  
19 a couple of hundred millivolts and that is approaching the  
20 repassivation or breakdown potential which, as you pointed  
21 out, were relatively close. The point being that I think  
22 there's very much less reason to expect the breakdown  
23 potential to change. I think there's far more reason to  
24 expect the ennoblement in terms of the open circuit--

25 FARMER: The open circuit corrosion potential.

1           LATANISION: Right.

2           FARMER: You're probably correct. There is some change  
3 though in terms of the passive film properties. As the  
4 sample sits around for an hour, defects are less prevalent.

5           LATANISION: Right. But, I think historically if you  
6 look into the literature, the anodic polarization curve, the  
7 shape, is relatively fixed. What is important is the  
8 location of the corrosion potential.

9           FARMER: Right, the green box.

10          LATANISION: That's right.

11          FARMER: Okay.

12          LATANISION: And, that's always a function of the  
13 intersection between the anodic kinetic curve which would be  
14 represented by the three different material curves that were  
15 shown on Slide 7 and the cathodic kinetics.

16          FARMER: Yes.

17          LATANISION: And, if you take the position, which I  
18 think is legitimate here, that the cathodic kinetics are  
19 somehow increasing the corrosion potential in a noble  
20 direction, not an unusual phenomenon in corrosion engineering  
21 systems.

22          FARMER: Okay.

23          LATANISION: That you're approaching the critical  
24 potential or breakdown potential, and therefore, at a  
25 relatively low temperature you've got a susceptible material.

1 That's the first point.

2           The second point is that welding--this is why I  
3 asked at the time you showed this--welding looks to me as  
4 though it creates another degree of susceptibility beyond  
5 that which would be typical of ennoblement because your  
6 potentials are even higher.

7           FARMER: That's correct.

8           LATANISION: So, I'm very troubled by this, I must say.

9           FARMER: Let me--

10          LATANISION: Let me just finish.

11          FARMER: Sure.

12          LATANISION: And, I know that you point out that you're  
13 dealing here with a relatively low frequency of low  
14 probability environment. But, I'll just say that, you know,  
15 the demographics of solution chemistry are such that the  
16 species that are in high frequency or high population are not  
17 necessarily the ones that you're concerned about.

18          FARMER: Right.

19          LATANISION: I mean, a few parts per million of  
20 chlorides in a steam generator will create havoc with a  
21 nuclear power plant.

22          FARMER: And, with due respect, Ron, and back to a  
23 question that Mark had raised earlier, how confident are you?  
24 I think the first thing to realize is, frankly, we have  
25 data. It's very noisy in this band. The centroid is kind of

1 around the center of this box and I think the--I, frankly, at  
2 this point couldn't tell you if it's one sigma or two sigma,  
3 but this represents the band of data that we see.

4       LATANISION: Yeah.

5       FARMER: One thing that you get from the probabilistic  
6 risk assessment that we do in the project, for one thing, you  
7 know, we can't assume that all of our environments are this  
8 because they aren't. I mean, that would be unrealistic.

9       LATANISION: Of course. Right.

10       FARMER: We also can't assume in a probabilistic risk  
11 assessment that all open circuit corrosion potentials are  
12 here or here because that's wrong. So, what we do is we  
13 assume the center of the distribution and we look at the  
14 width of it and we do a probabilistic risk assessment. And,  
15 things that occur at a probability of less than  $10^{-4}$  are not  
16 such a problem for us. Now, if we came in here today and we  
17 told you absolutely nothing about our knowledge of the waste  
18 package surface environment and left you at the end of today  
19 with the belief that this might be 100 percent probability,  
20 you know, that's a problem. But, the fact that I--

21       LATANISION: I guess, I'm missing a point though. I  
22 mean, even if it were 1 percent probability, but it were the  
23 causative agent and it were present on a 1 percent frequency,  
24 I'd be concerned about that. I mean, it's like looking  
25 under--you know, looking under a lamp pole for something

1 you've lost even though you didn't lose it near the lamp  
2 pole. I mean, from my point of view, if this--if, and it's a  
3 big "if", Joe, I admit that. I don't know that this is the  
4 causative environment, but if you take the position that it  
5 might be, then this data would tell me that if you're  
6 operating at temperatures--and let's take a midpoint in terms  
7 of the corrosion potential given the dashed boxes, I would  
8 say that in the case of the base metal, you know, you're at  
9 maybe 110 degrees Centigrade, and the case of welded base  
10 metal, you're somewhere closer to 100 as your threshold.  
11 And, those are well-below the operating temperatures in terms  
12 of the high temperature--

13 CRAIG: Okay. I have to apologize. We have to take a  
14 break. Dan Bullen, you get the first question after Bill  
15 Boyles' talk.

16 FARMER: Well, let me make one final--

17 CRAIG: Okay.

18 FARMER: --if I can, frankly. If Denise could go to  
19 Slide 51 and 52? You know, these actually represent  
20 realistic waters. Simulated acidic water, you know, people  
21 have said they don't, but, frankly, probabilistically this is  
22 a very realistic environment. We have a very large margin  
23 between the open circuit corrosion potential and what might  
24 be the breakdown potential, but, frankly, probably more a  
25 limit on the electrolyte. And, frankly, no negative going--

1 I'm sorry, no positive hysteresis here. So, this is a  
2 realistic environment. And, here, you have two conditions.  
3 You have a severely aged sample which would be the very worst  
4 type of metallurgy that you'd see with any welding occurring  
5 and you have a base metal. And, in both cases, you have  
6 fairly good margin and water that we would expect at  
7 relatively high probability.

8           And, if I could have the next slide? This is the  
9 other category of expected water. Again, we have a good  
10 margin between the open circuit corrosion potential and, you  
11 know, realizing, of course, that we can have ennoblement  
12 here, as well. Frankly, there isn't much ennoblement in this  
13 particular electrolyte, but there is some with the SAW, as  
14 you may recall from some earlier meetings. But, again, we  
15 have a fairly good margin between this anodic oxidation peak  
16 and the open circuit corrosion potential. We have a 600  
17 millivolt margin and the ennoblement we're talking about is a  
18 couple, 300 millivolts.

19       CRAIG: Okay. At this point--

20       FARMER: And, these are expected waters.

21       CRAIG: At this point, we're taking our break. We've  
22 got 15 minutes. You're all due--

23       SPEAKER: Whether you like it or not.

24       CRAIG: Whether you like it or not. You don't have to  
25 take the full 15 minutes.

1 FARMER: Thank you very much.

2 CRAIG: Thanks a lot, Joe. And, we're all due back at  
3 4:25.

4 (Whereupon, a brief recess was taken.)

5 CRAIG: Folks, can we sit down, please? It's time to  
6 get started.

7 (Pause.)

8 CRAIG: Okay. Bill is ready to go. And, we're now into  
9 the last session which is Bill Boyle talking about the  
10 Technical Program Summary and Discussion. Bill, you've got  
11 20 minutes and I'll ring the bell after 15.

12 BOYLE: Okay, thank you. As the title indicates, I'm  
13 going to try and summarize the technical program that we've  
14 been working on most of the day. The last four slides in  
15 Bo's presentations, I think they deal with observations and  
16 summary and conclusions and presents our understanding of  
17 what will happen with the water, both under ambient  
18 conditions and also during heat-up into the orange region.  
19 And, not just what happens with the water movement, but also  
20 with respect to water chemistry. I think based upon his  
21 entire presentation summarized in those last four slides  
22 before the backup (inaudible), he gives a good understanding.  
23 We have a confident understanding of what happens with the  
24 water and the chemistry of the water. We then switched over  
25 to Mark Peters' talk using as a starting point the water

1 chemistries that Bo had described.

2           Now, Professor Duquette, he mentioned that with  
3 respect to corrosion, those water chemistries as calculated  
4 by LBL may be not particularly germane or relevant to crevice  
5 corrosion, but we're interested in those starting water  
6 chemistries for other reasons beyond corrosion. We need to  
7 know what effects there might be on the rock itself. Once we  
8 have those chemistries, we might as well use them.

9           Mark in his talk talked about not only what happens  
10 to those seepage water chemistries, but also deliquescent  
11 brines and also what happens if water vapor condenses and  
12 interacts with the dust. And, in his talk, the last three  
13 slides before any backups deal with each one of the color  
14 coded regions and what we expect will happen when we're in  
15 each of those regions.

16           Using the knowledge of chemistry in the tan region  
17 that Mark described, we then had Joe Farmer's talk on the  
18 blue region and what will happen with corrosion of the  
19 engineered system. The last three slides of Joe's  
20 presentation before the backup materials, there's one slide  
21 each again for the orange, tan, and blue regions and what we  
22 expect to happen when we're in those temperature regimes.

23           And, I think, in particular, all three presenters  
24 and their materials, the last four slides of Bo's and the  
25 last three of Mark's and Joe's, very capably summarize what

1 we expect to happen and all the prior material provided the  
2 basis for that expectation. I'm mainly here because we're  
3 coming back after a break and I'm just reminding people of  
4 what they've heard earlier in the day.

5           But, like Professor Abkowitz, I'm also not  
6 necessarily an expert in these studies and I think it's very  
7 --I would submit most people in this room, people are lucky  
8 to be expert in perhaps one thing, not all these many things;  
9 corrosion, metallurgy, thermal hydrology, geochemistry. So,  
10 I think, it's useful at times to take more general higher  
11 level perspective like Professor Abkowitz did. So, during  
12 the course of the day, I've tried to capture some of the  
13 concerns and I'll try and bring them up now during this 20  
14 minutes. But, if I only address them from a high level point  
15 of view, we have the rest of the time and we can bring them  
16 up during discussion again.

17           So, one of the first concerns that came up was Dr.  
18 Nelson wondered whether or not the capillary effect that  
19 people observe in soils, if you will, porous medium, was  
20 applicable to fractured rocks. Well, as Bo had said during  
21 his presentation, the capillary effect is related to the  
22 surface tension of water. And, whether people realize it or  
23 not, I think they actually have a lot of experience with the  
24 surface tension of water. Usually, in a chemistry class with  
25 beakers, people are aware of the--of the water and its

1 surface tension is pulling the water up the side of the  
2 beaker even though there is no porosity in the glass itself.  
3 It's not really a porosity effect, per se, but it's the  
4 surface tension of the water.

5           It also comes up with respect to biology class and  
6 thin microscope glass plates. If you take two plates of  
7 glass and put a drop of water between them, the two plates  
8 will stick together. I don't know if people remember that  
9 from biology class, but it's the surface tension of the  
10 water, and in some ways, that's very applicable to fractures,  
11 if you will, very small aperture fractures. It's hard to get  
12 the water out.

13           But, Dr. Nelson had mentioned what about open  
14 fractures? Well, I think, people's windshields in a  
15 rainstorm or shortly thereafter also give indications of what  
16 the surface tension of water can do. The water will bead up  
17 even without the second part of the fracture being present.  
18 You know, there is just the open surface of the glass. Water  
19 will bead up and won't necessarily move under the effect of  
20 gravity.

21           So, I think, you know, without going into a lot of  
22 details that we fully expect the capillary effect to work in  
23 fractured rock just as we do expect it to work in the porous  
24 medium.

25           Let's see, Professor Corradini brought up a concern

1 about geophysics also during Bo's talk. And, Bo, like any  
2 good earth scientist who is not a geophysicist, expressed  
3 skepticism, if you will, or acknowledged that there was a  
4 degree of uncertainty about the results. What I'd like to  
5 emphasize about those geophysical results is we had more than  
6 one geophysical method operating in the drift scale test. We  
7 not only had the ERT, we had the neutron logs and we also had  
8 the ground penetrating radar. All three techniques are  
9 fundamentally different from each other and all three told  
10 essentially the same story which gives earth scientists more  
11 comfort when it comes to geophysics that if more than one  
12 method is used and it's telling the same story, perhaps the  
13 story is believable, particularly when it was coupled with  
14 our physical observations that we would see water in  
15 boreholes when we expected to see it and, as the heating  
16 front went by, we couldn't get water out of the boreholes  
17 anymore. So, I think our understanding of where the boiling  
18 front is, although it's, in part, based upon geophysics, is a  
19 legitimate understanding.

20           I think it was during Mark's talk there was a  
21 concern about--I think, Dr. Bullen brought it up--do we have  
22 the right collection of dust that we're analyzing? And then,  
23 I also believe that Dr. Diodato brought this up, as well. I  
24 don't believe that there's any reason to suspect that we  
25 don't have a representative dust sample. The dust collected

1 by the USGS shows that it predominately produced by the  
2 surrounding rocks, but there are other things in there that  
3 perhaps aren't present in the rock. But, although there's  
4 many advantages to living in the desert southwest, one of the  
5 disadvantages is that on days like today, windy here in  
6 Washington, if we have such wind conditions in the southwest,  
7 we also have blowing dust storms. Clark County, Nevada has  
8 been an EPA, non-attainment area for blowing dust. One of  
9 the lakes mentioned in Mark Peters' talk, Page 10, Owens  
10 Valley, California, it has such a significant blowing dust  
11 problem that the southern California water users now have to  
12 keep more water in Owens Lake to keep the blowing dust down  
13 and also provide a rock armor to keep the blowing dust down.  
14 The general point being is there's a lot of blowing dust in  
15 the desert southwest. So, I'm not surprised, at all, that we  
16 have nitrates or almost anything else under the sun present  
17 in the dust which Zell Peterman also mentioned that we do see  
18 it in the Forty Mile Wash area.

19           Let's see, Dr. Nelson also brought up what about  
20 the purple region right here in the heat-up? Well, from a  
21 scientific point of view, if we understand what's going on  
22 where the purple region crosses the tan region over here, we  
23 can use that same scientific knowledge to examine the purple  
24 region and the tan region over here which is of much more  
25 limited duration. As I believe was already mentioned, when

1 we finally do go into that heat-up phase, it will be after a  
2 prolonged period of ventilation during which a lot of the  
3 rock will have dried out. Every day of heating that goes on,  
4 the relative humidity gets lower and more and more water  
5 moves away. It's a continually improving condition, if you  
6 will, during the heat-up in contrast to the cool-down where  
7 the possibility of water is actually increasing as every day  
8 goes by.

9 BULLEN: Bullen, Board. Just a quick question there,  
10 Bill. When you talk about the heat-up phase, that's  
11 immediately post-closure, right?

12 BOYLE: Right.

13 BULLEN: So, the heat-up is occurring with no  
14 ventilation--I mean, the ventilation has occurred for 50  
15 years, but if I start mobilizing water due to the heat, it's  
16 mobilized, what, from farther in the rock? Is that the point  
17 you're trying to make?

18 BOYLE: Well, the point I'm trying to make is there's  
19 less water to be mobilized to begin with, you know. In the  
20 drift scale test, we had dried out a thin skin or rock, if  
21 you will, and we ended up with water in the drift scale test.  
22 After 50, 100, 200 years of ventilation, you know, I'm sure  
23 Bo could tell us how far into the rock mass the drying front  
24 has gone, but it will be just that much less water available  
25 to move into the drift. And, every day, the temperature goes

1 up, the relative humidity goes down in case people are  
2 concerned about relative humidity effect. And, every day  
3 that the temperature goes up, it's trying to drive most of  
4 the water away, although some does come back into the drift.

5       CORRADINI: Since he stopped you--Corradini, Board--may  
6 I ask you a question now?

7       BOYLE: Sure.

8       CORRADINI: I want to know one more time since we're  
9 having a private discussion about it, the purple band, what  
10 is the loading that gave us the lower part of the purple band  
11 versus the upper because I thought I understood and then I  
12 tried to explain it to a colleague and I was told I didn't  
13 understand. So, do you mind one more time?

14       BOYLE: I'll try once again and we'll see if I get it  
15 right. That in the analyses that led to the plotting of  
16 those temperatures, we had a line load, if you will, that  
17 over the length of an entire drift, I believe that what it  
18 averaged to was 1.45 kilowatts per meter over a kilometer or  
19 a kilometer and a half length. That line load was produced  
20 by waste packages with many different heat outputs, all the  
21 way from very hot ones with younger spent fuel down to the  
22 defense glass which is really not putting out much, at all.  
23 But, as Bo had brought up in his talk, nature is trying to  
24 get rid of all the temperature gradients it can either  
25 through radiation, conduction, convection. So, even though

1 the waste packages themselves in this whole drift have  
2 greatly different heat outputs, anywhere from 12kw down to 1,  
3 they do appear as if they average out at 1.45, but  
4 nevertheless, they still are putting out different amounts of  
5 heat, but they are trying to average out through these  
6 radiation, convection, conduction. And so, if we actually  
7 put a thermometer on the coolest waste package in that long  
8 drift, we'd get something here, and if we put it on the  
9 hottest waste package in that long drift in the center of the  
10 repository we'd get the higher temperature.

11       CORRADINI: So, now, the question, I guess, Dan was  
12 asking or just to push it one step further for Dan, so that  
13 in the heat-up phase, I would expect what you're doing is  
14 driving away the water in two directions, right? You're  
15 driving away into the gaseous phase and back into the rock  
16 simply because you have a--they physics of it, at least as I  
17 would understand it, is you have a pressure front and the  
18 pressure is driving the concentration both ways because  
19 that's what the heating is doing to this.

20       BOYLE: Right.

21       CORRADINI: So, the fact you say relative humidity is  
22 falling is simply a fortuitous thing because the temperature  
23 is rising.

24       BOYLE: Right.

25       CORRADINI: In actuality, the concentration of steam is

1 growing in the gaseous phase?

2       BOYLE: Right. That can be--right. Or even for all I  
3 know, that the water content, you know, molds of water may be  
4 constant, may be falling, may be rising, but the decrease in  
5 relative humidity probably is largely a temperature effect.  
6 But, if relative humidity, in and of itself, is a thing that  
7 concerns you, it is falling.

8               Now, all right, just a few more points, I hope.  
9 The discussion at the end just before the break and whether  
10 or not--what is the probability of occurrence of some of  
11 these deleterious effects with respect to corrosion? 0 to 1  
12 percent is a figure that Joe Farmer used, I believe, or you  
13 used 1 percent. Whatever the right number is, we have to  
14 take it into account into our total system performance  
15 assessment. We have to not only for corrosion, but for  
16 everything. It's a probabilistic analysis. Things occur  
17 with a frequency that's according to what it should be and  
18 the results come out at the end. We do allow for corrosion  
19 to take place in the model and I'm not a corrosion expert,  
20 but I trust our scientists and engineers who are that they  
21 have correctly incorporated, you know, what will happen in a  
22 probabilistic sense. So, just because there's a low  
23 probability of something bad happening doesn't mean we should  
24 be, you know, afraid of it or irrationally concerned about it  
25 or--not that I'm implying that anybody is because I'll use

1 examples that are much lower probability that we have to  
2 factor into account. On an annual basis, the lowest  
3 probability we have to concern ourselves with is something  
4 that--one in 100 million per year. And, volcanism, for  
5 example, is something down in that range of probability, and  
6 yet, we do account for it in our analyses. So, low  
7 probability events are provided for in the model  
8 appropriately.

9           Now, Professor Abkowitz asked if there were fewer  
10 corrosion problems hotter, and I think the question can be  
11 generalized to are there fewer problems hotter? And, I  
12 thought this was the route that Joe Farmer was going to go  
13 down when he mentioned he was a taxpayer. I believe we've  
14 provided you documentation in the past which indicates, I  
15 think, for generally pretty clear reasons that colder  
16 repositories tend to be more expensive than hotter ones.  
17 They usually involve more construction and/or years of  
18 operation, and therefore, are more expensive.

19           But, I believe that there's also fewer--I'll just  
20 call it health problems, if you will, hotter rather than  
21 cooler. And, I recommend our final EIS to those that haven't  
22 read it, particularly Section 4.1.7 which looks at the health  
23 effects of higher temperature operating mode versus lower  
24 temperature operating mode. What it turns out is because the  
25 lower temperature operating mode is achieved through much

1 longer operations, there are more health effects associated  
2 with it including things like all those extra hundred years  
3 of operation, people will drive out to the site and there  
4 will be more car wrecks and things like that. So, the cooler  
5 repository not only being more expensive, also is documented  
6 in our final EIS, does tend to have more health effects than  
7 higher temperature operating mode. But, as Joe Farmer  
8 started alluding to, there probably is an upper limit to, you  
9 know, the benefits of our repository. For example, back to  
10 our liability assessment design which was certainly hotter,  
11 but the isotherms between the drifts coalesced raising a  
12 significant uncertainty. So, hotter is better under some  
13 circumstances. Our HTOM is probably better than our LTOM  
14 which you can see in FEIS, if you will.

15           And then, Professor Abkowitz, also one last point.  
16 He asked where was the greatest uncertainty? From my own  
17 personal point of view, in the preparations leading up to  
18 this meeting, most of the discussion dealt with the tan area.  
19 This can get down to mainly understanding a natural system  
20 problem, what happens with the water? This can largely get  
21 down to a metallurgy corrosion problem, just one scientific  
22 discipline, if you will. One scientific discipline. This  
23 requires the marriage of the two and that's--I'm not saying  
24 it's necessarily the most certain, but it's certainly  
25 generated the most discussion.

1           So, that's my summary.

2           CRAIG: Okay. Thank you.

3           BOYLE: Do you want me to stand here and answer the  
4 questions or do you want me to go back and--

5           CRAIG: Well, I'm not quite sure who the questions are  
6 going to be to, probably to everybody. So, why don't we set  
7 you up as a panel over there. Let's see, as we get on with  
8 this, Dan Bullen has the first--

9           BULLEN: Hour. I get the first hour.

10          CRAIG: What?

11          BULLEN: I get the first hour, don't I?

12          CRAIG: Absolutely.

13          BULLEN: I have two questions.

14          CRAIG: We're in a situation where we have a fair amount  
15 of time. So, actually, you don't have to be quite as brief  
16 as you would normally be.

17                 But, Ron, if you want to continue on your metals  
18 discussion and then Carl Di Bella also had a metals  
19 discussion. So, I've got three and, let's see, I went that  
20 direction, I'll go this direction; Mike and then Dave.  
21 Anybody else? And, Norm. Dan, first?

22          BULLEN: Bullen, Board. Actually, Bill, since you  
23 brought the point up, I guess I'll have to follow up on this.  
24 I have a couple of issues that I want to raise, but you  
25 mentioned that the tan area raised the greatest amount of

1 questions and had the greatest uncertainty. In the high  
2 temperature operating mode, I have to pass through that area  
3 twice. So, wouldn't it be a simpler design and perhaps a  
4 safer design if I never when through that operating mode?  
5 And, I guess, that leads to the question of is the system  
6 safer if you never go beyond the blue region? And, if so,  
7 how, and if not, why?

8       BOYLE: Okay. Boyle, DOE. Well, this gets back to my  
9 discussion of the Environmental Impact Statement, but let me  
10 clarify. I think it said that tan area wasn't necessarily  
11 the most uncertain, but I think it led to the most  
12 discussion. I think because it's the marriage of two  
13 different scientific disciplines, you know, the understanding  
14 of the natural system and corrosion. But, essentially, your  
15 question is if that tan region, staying out of it, never  
16 getting up to it, staying cooler than that, we avoid  
17 corrosion altogether, if you will, well, that's essentially  
18 what the low temperature operating mode did do and it was  
19 analyzed in the EIS. The high temperature operating mode  
20 results are shown. That's the purple band right there. So,  
21 it did go through the tan zone and out the other side. As I  
22 was trying to get across in the discussion of Section 4.1.7  
23 in the EIS, you will see that particularly because of the  
24 extended operations associated with the low temperature  
25 operating mode as analyzed in the EIS, there are more health

1 effects. I'll let you decide how important they are.  
2 Everybody can look at the tables, it goes on for page after  
3 page, and reach their own conclusion. But, what's  
4 particularly interesting is with respect to the high  
5 temperature operating mode, the biggest concern seems to be  
6 that its performance is perhaps more uncertain. We did  
7 examine this in the supplemental science and performance  
8 analysis. And, out in the periods of hundreds of thousands  
9 of years, you first start to see perhaps less good  
10 performance out of the high temperature operating mode  
11 relative to the low temperature operating mode.

12           But, ultimately, whether or not the cooler is safer  
13 than the hotter, I could portray it as a choice of the  
14 following. If we go cooler, it's with almost near certainty  
15 that we will suffer ill effects, you know, the auto wrecks  
16 because of the extended duration of operation, and there will  
17 be--there's more radiation doses for various reasons. Those  
18 will occur with almost absolute certainty and they will occur  
19 to our children, our grandchildren, our great grandchildren,  
20 and we will choose that and spend more money to achieve it in  
21 order to avoid potential cancer deaths 600,000 years from  
22 now. I don't know when I pose the choice that way that many  
23 people would actually take the low temperature operating  
24 mode.

25           BULLEN: Bullen, Board--

1           FARMER:  Could I make a comment to you on that?  A  
2 couple of points regarding low temperature.  You know, we  
3 were discussing the possibility of microbial growth and the  
4 impacts on corrosion.  That, frankly, from a corrosion or  
5 materials science point of view is harder to quantify than  
6 corrosion and just inorganic electrolytes.  And, we realize  
7 from earlier assessments that we did that, you know, the  
8 threshold relative humidity for microbial growth is somewhere  
9 between 40 and 60 percent RH.  So, in terms of minimizing the  
10 impacts of microbial corrosion, I would--my preference would  
11 be to operate under conditions where we can maintain the  
12 relative humidity as low as possible for as long as possible  
13 because I think that, once you get into looking at things  
14 such as mutation of microbes over a 10,000 year period, it  
15 seems to me that is a more difficult problem than the one  
16 we're currently faced with.

17           BULLEN:  Bullen, Board.  To follow up on that, Joe, the  
18 issue there is that if I have a LTOM, I've ventilated for  
19 that 300 years.  So, I don't have the RHs there.

20           FARMER:  And, to my second point, when you think about  
21 the ventilation, I was actually curious--my father turns out  
22 to be a civil engineer and so I posed the question to him.  
23 But, I don't think are any engineered systems that have  
24 ventilation systems that have been operation continuously for  
25 the time period that you're referring to.

1 BULLEN: Bullen, Board. You're exactly right. I agree  
2 with that. But--

3 PETERS: Can I say one other thing, too?

4 BULLEN: Oh, Mark, you can say whatever you like.

5 PETERS: Okay. Mark Peters, BSC. One thing I would add  
6 to what Bill said, do we have the basis and can we  
7 demonstrate safety long-term, post-closure, operating hot, as  
8 we like to put it? Yes is the answer. We met the standard.  
9 So, Bill focused a lot on the pre-closure aspects of it, but  
10 we're still protective of the public health and safety long-  
11 term, too.

12 BULLEN: Bullen, Board.

13 PETERS: I know you're aware of that, but I want that on  
14 the record.

15 BULLEN: The other issue is can you demonstrate safety  
16 cold? And, the answer is also yes, right?

17 PETERS: We showed that in the SSPA, but what we're here  
18 doing is demonstrating the basis for our design and that is  
19 what we're terming hot for the purposes of this discussion.

20 BULLEN: Bullen, Board. I would like to point out that  
21 the EIS and the SSPA were both completed with WOPDATE  
22 (phonetic) models that were not temperature dependent for  
23 corrosion? Is that not correct?

24 BOYLE: My recollection for the SSPA, Supplement Science  
25 & Performance Analysis, is that we did have a temperature

1 dependence for corrosion in there that caused some lively  
2 discussion, if you will. So, we removed it. So, the  
3 calculations exist both ways. We had temperature dependence  
4 and we also removed it or changed it to see what the effect  
5 was.

6 BULLEN: Bullen, Board. But, the EIS and the LTOM/HTOM  
7 results that you present are not temperature dependent in  
8 WOPDATE?

9 BOYLE: Do you know the answer--

10 FARMER: Early-on, there was a concern about the  
11 temperature dependence of the corrosion rates. I think the  
12 origin of the temperature independence, if you will, went  
13 back to the fact that when the actual data coming out of the  
14 long-term corrosion test facility was analyzed, there was no  
15 indication of temperature dependence there. That isn't,  
16 quite frankly, a reflection on the data. It's a reflection  
17 of the fact that you have competing processes. As you go up  
18 in temperature, you tend to decrease oxygen solubility. I  
19 mean, they're competing effects. So, there was, as you  
20 recall, many, many meetings like this where that was debated.  
21 In the final analysis, I think there were rational and  
22 justifiable reasons put forth for that appearance of  
23 temperature independence. I think it was more, frankly, a  
24 trading off of effects than the temperature independence.  
25 BULLEN: Okay.

1           BOYLE: And, I'll follow up on that. You know, Mark  
2 indicates that the short answer to your question is yes.  
3 But, my recollection is is when we had the temperature  
4 dependence, the original SSPA results, in some ways they were  
5 comparable to the final SSPA results or the EIS results in  
6 that when we included the temperature dependence, the  
7 performance of HTOM and LTOM, both improved. You know,  
8 because we spend most of our time cold and the temperature  
9 dependence really had improved performance cold, but on those  
10 million year plots, hot and cold both spent much of their  
11 time ambient. It shifted everything in terms of those dose  
12 plots out to the right, but the HTOM and LTOM, themselves,  
13 still looked the same.

14           BULLEN: Bullen, Board. Just one last question and that  
15 deals again with uncertainty. And, I guess, it's an opinion  
16 of the entire panel and I'll ask Bo to pipe up, too, because  
17 do you feel that certainty in performance is greater for a  
18 high temperature operating mode or greater for a low  
19 temperature operating mode? And, I have my own bias and  
20 opinion and you probably already know what they are, but can  
21 you explain to me why do you think the certainty of  
22 performance for a high temperature mode would be greater or  
23 lesser? And, any of the four.

24           BODVARSSON: Well, the way I look at the hot versus  
25 cold, I look at it two ways. The hot to me is more uncertain

1 in terms of processes because, of course, when you introduce  
2 boiling, you're going to introduce thermal hydrological, and  
3 more importantly, dissolution and deposition of the waste  
4 packages. On the other hand, the benefits you get from the  
5 hot, to me, far outweigh the uncertainties of the hot because  
6 of the boiling phenomena that we discussed in my part of the  
7 talk. There is no question in my mind from a lot of  
8 geothermal experience that I have spent 25 years studying in  
9 various parts of the world that boiling reduces water  
10 contents, it causes dry-outs, it causes heat type effect that  
11 we see, it causes chemical dissolution and precipitation  
12 effects that we see, and all of these things that seem to be  
13 very beneficial to performance. So, in my mind, even though  
14 the uncertainty of the hot are somewhat larger, the  
15 advantages far outweigh the uncertainties.

16       BULLEN: Bullen, Board. One last question and then I'm  
17 done, I promise. If we don't go hot, do you avoid the  
18 formation of the waters that are in Bins 1 and 2?

19       FARMER: Actually, could I help with--

20       SPEAKER: Sure.

21       FARMER: Actually, it turns out that the binning process  
22 that Mark referred to--and, again, I'm not an expert, God  
23 knows, but I did familiarize myself some with the binning  
24 process that I think the geochemists use. As I recall, I  
25 think they used the evaporative concentration process using

1 EQ3/6 as the methodology for binning the waters. So, there  
2 were actually two evaporations done during the modeling.  
3 There was first synthesized, if you will, or the simulated  
4 evaporation that was actually used to determine the  
5 trajectory of a particular Bin water on the geochemical  
6 divide diagram. And then, depending upon the outcome of that  
7 simulation, they would then go back and bin the starting  
8 water. So, my belief is that actually I think that the  
9 original bin water would still exist, but of course, perhaps  
10 how the binning would work out might be determined by the  
11 operating mode of the repository because those Bin waters  
12 actually came from simulations that probably account for the  
13 temperature profile, both spatially and temporally, that we  
14 see in them.

15 CRAIG: Okay. That was Joe Farmer. When you speak up,  
16 just give your name briefly for the benefit of the recorder.

17 FARMER: Again, my apologies.

18 PETERS: Mark Peters, BSC. That's a good question.  
19 Unfortunately, I don't have the plots. What we would need to  
20 go to is the evolution of all the pore waters and how they  
21 broke into the different Bins and look at what piece of the  
22 time history they came out of to understand what temperature  
23 they correspond, if you follow me. So, I think, the  
24 information is available. I just think I'm at a disadvantage  
25 that I just don't have that at my fingertips.

1           BULLEN: Bullen, Board. I'd just like to see that. I  
2 mean, if we never boil the mountain and we don't get to Bins  
3 1 and 2, I'd be interested in seeing it.

4           PETERS: We can certainly go look at the output to try  
5 to get to that answer.

6           CRAIG: Next is Ron Latanision followed by Carl Di  
7 Bella.

8           LATANISION: Latanision, Board. I just want to return  
9 to the conversation we had before the break. I'm looking at  
10 this in a totally pragmatic sense and I think we all share  
11 the same concern about avoiding circumstances that will lead  
12 to radionuclide release. I mean, that obviously is a concern  
13 here. And, I suppose from my point of view what I see in the  
14 data that's emerging from the project and also data that I  
15 think is emerging from the work in San Antonio--and I think  
16 we'll hear some of this tomorrow--the only circumstances that  
17 I see which will seem to me, at least as a corrosion  
18 engineer, that will lead to penetration of the package, the  
19 only data that I've seen, is related to localized corrosion  
20 and particularly so of welded structures. We're talking  
21 about a package that's welded. We're talking about  
22 circumstances, at least in terms of the experimental data  
23 that's emerging, that has some finite probability  
24 environmentally of occurring, and therefore, it concerns me.  
25 But, I think the crux of what I'm getting at is not just

1 that we should be distinguishing materials from the point of  
2 view of their susceptibility and you can do that by looking  
3 at the potential differences, the real question is what is  
4 their serviceability and that's a function of not only that  
5 Delta E, but it's a question of whether it's the breakdown  
6 potential or the repassivation potential, where that lies  
7 relative to the corrosion potential. That is the issue. The  
8 data that's emerging from what I've seen leads me to draw a  
9 question or question, I should say, the serviceability of  
10 Alloy 22 under those circumstances.

11 FARMER: Well, let me just go back, you know, and you'll  
12 have to pardon me, Ron, for--I'm kind of replaying part of my  
13 answer, but, frankly, I think the answer is legitimate and  
14 correct. You know, again, these calcium chloride brines, you  
15 know, the project has invested substantial time and effort in  
16 investigating a lot of these scenarios that, frankly, they're  
17 possible, but certainly the possibility is very improbable.  
18 I mean, you know, these environments are not the predominate  
19 environment that the waste package will see. I mean,  
20 predominately, those waters at Yucca Mountain are  
21 bicarbonates and they will evolve that way. So, you're  
22 really looking at the tail end of the distribution when  
23 you're talking about these calcium chloride waters.

24 So, granted, you know, we have to be concerned  
25 about that situation and we have done our due diligence. We

1 have quantified the corrosion in these worst case scenarios.  
2 We also are collecting corrosion data in the more benign  
3 scenarios and from my personal opinion one of my concerns is  
4 that we've spent so much time on the improbable that we don't  
5 have the confidence in the most likely scenarios that we  
6 might otherwise have. So, you know, having limited time and  
7 resources, I think, personally, I would like to see some more  
8 emphasis on the scenarios that we're really anticipating.

9       LATANISION: But, may I rephrase what you've said, Joe.  
10 I mean, I agree with your comment in the sense that it  
11 doesn't appear to me that the bicarbonate solutions are  
12 likely to be problematic.

13       FARMER: That's correct.

14       LATANISION: Right. And, they are the predominant  
15 environment.

16       FARMER: Yes.

17       LATANISION: But, if there is a finite probability that  
18 the presence of an environmental specie that is shown to be  
19 troublesome is likely to be present, then I think the--then  
20 it addresses the serviceability issue that I raised.

21       FARMER: Well, there is a serviceability issue and I  
22 guess my response would be that I think we are being very  
23 responsible in addressing that. My belief is that we have to  
24 look at this at--we're trying to assign accurate levels of  
25 concern. You know, we're assigning a weighting factor, if

1 you will, and trying to calibrate this appropriately.

2       LATANISION: Right.

3       FARMER: But, you know, we also are not being very  
4 responsible engineers if we paint such a dire situation that  
5 we cannot achieve, you know, the mission set before us  
6 because, frankly, these alloys are as good as they get and,  
7 you know, you're going to have a hard time building any kind  
8 of engineered structure if you only portray the plausible  
9 scenarios as the most dire of circumstances.

10       LATANISION: Let me make sure I'm expressing myself  
11 clearly. I don't mean to suggest that there's a dire  
12 circumstance. What I'm suggesting is that there's an  
13 important diagnostic that you've generated from the project's  
14 data.

15       FARMER: Correct.

16       LATANISION: And, that diagnostic tells me that there's  
17 a changing--for example, a changing corrosion potential that  
18 is driving this system in directions that suggest to me that  
19 if there's going to be a serviceability issue, that's an  
20 issue we have to address. It would suggest that once you  
21 recognize the diagnostic that it would be worth investing  
22 some time and effort in finding ways of driving that  
23 corrosion potential back down. You know, it's a diagnostic.

24       FARMER: That's a very good point, you know, that you  
25 just make. I mean, for example, you know, in our props, most

1 of us who, you know, had boats or--I mean, we all know about  
2 zincs on propellers. I mean, if this is the direction that  
3 you're headed.

4       LATANISION: Well, I mean, that's precisely the  
5 direction.

6       FARMER: And, frankly, early-on in one of the pre-  
7 viability assessment designs, we had--if you remember those  
8 days, we actually had the corrosion allowance material on the  
9 outside of the package for that very reason. We wanted a  
10 sacrificial material on the outside. And, in those days, we  
11 had the corrosion resistant material on the inside so that we  
12 would have that sacrificial layer.

13       LATANISION: Right. Well, let me just close by saying  
14 that I see two options really or maybe three. I mean, one is  
15 to take the approach we've just been talking about and that  
16 is to use the diagnostic and to respond to it by attempting  
17 to drive the potential in a direction which is going to  
18 provide more serviceability in the language that I've been  
19 using. The other, of course, is to consider packages that  
20 are not welded and I think that's not in the cards. Or,  
21 thirdly, to reduce the operating temperature.

22       FARMER: There are actually--there's a fourth option, as  
23 well, and one that we're investigating. We're considering,  
24 frankly, new materials, coatings. Some folks have actually  
25 recommended perhaps, you know, coating these welded regions

1 so that you don't expose a potentially susceptible metallurgy  
2 to these conditions. So, there are lots of options out  
3 there. I mean, I think we have a very good design and I  
4 think the problems that we outlined for you today, we did for  
5 completeness, not because we believe that these are the most  
6 probable circumstances.

7       LATANISION: Well, I guess, I would be happy to see a  
8 lot more detail on those sort of remedial or responsive  
9 approaches than I guess I've heard today. That's my only  
10 concern. I mean, I think we all share the concern about  
11 wanting to make sure that these packages, if they're put into  
12 service, are as serviceable as possible.

13       FARMER: Exactly. And, one final important point, I  
14 believe. If we look at the distributions of the waters that  
15 we see--let's say, hypothetically, we expect somewhere  
16 between 95 and 99 percent to be represented by those waters  
17 that we have tested, you know, the yellow data points in the  
18 four corners of the triangle. If we do think that these  
19 bicarbonate waters are predominant which, frankly, is the  
20 case and we look at data coming out of a long-term corrosion  
21 test facility--those are, in fact, representative tests--  
22 certainly, at 95 degrees Centigrade over many years, we see  
23 no indication of localized corrosions, the initiation of  
24 stress corrosion cracking with (inaudible) Bin samples, no  
25 pitting. So, I think in the predominant waters that we

1 expect to see at Yucca Mountain, we do have a plethora of  
2 data that suggests that while you may have some of these  
3 outlier situations that are problematic, certainly this isn't  
4 the general case.

5       BOYLE: Boyle, DOE. I'd like to offer up a fifth way  
6 out of this issue, if you will. If there are things that can  
7 be done to make the material better and we can find out what  
8 they are either through the science and technology program or  
9 through our own efforts out at the project, that's wonderful.  
10 But, the fifth way out is remembering that these bad  
11 conditions occur with some probability. Do the analysis and  
12 if they're sufficiently low and yet we allow them to occur,  
13 the bad things happen, but the consequences still aren't that  
14 bad, we still have an okay system. You know, we do have  
15 these bad effects built into the model and they should happen  
16 with an appropriate frequency. And, even if they do happen,  
17 if the probability is low enough and the consequences  
18 associated are low enough, we're still okay. But, if there  
19 are things we can do to make it better, then let's do it.

20       FARMER: And, we're going to work very hard on this weld  
21 metallurgy problem. So, I don't want to give you the  
22 impression that we aren't working the issue. We're working  
23 it as hard as we possibly can.

24       LATANISION: Bill, I was with you all the way through to  
25 the last point. I mean, I agree. If it's a low probability

1 event, that puts some perspective on it. But, if it's a high  
2 consequence, I guess I wouldn't feel quite as comfortable as  
3 you might.

4       BOYLE: Well, it's the multiplication of the two, the  
5 probability and the consequences, which is what we're really  
6 interested in. We just have to do the analyses to see how it  
7 turns out. And, our analyses have to have the capability of  
8 allowing the bad things to occur if they're believable, but  
9 they should occur with the proper frequency. When it gets  
10 into this area of corrosion, I have to defer to people like  
11 Joe and others that they have built the models correctly to  
12 allow these events, however low or high their probability is,  
13 that they occur appropriately.

14       FARMER: And, one thing that's being done right now that  
15 we didn't frankly have time to mention very much--

16       CRAIG: Joe Farmer.

17       FARMER: I'm Joe Farmer from Livermore for those of you  
18 who don't know me by now. But, at any rate, it turns out  
19 that the project is spending a lot of effort working with us,  
20 like TWI Welding Institute, for example, and I know Ron is  
21 well-aware of this. But, we are second guessing everything  
22 we do all the time including the weld process that we're  
23 looking at. There are new state-of-the-art welding processes  
24 out there where the welds are, you know, extremely thin  
25 compared to the conventional welding processes. And, we're

1 looking at these because, frankly, the smaller weld zone, the  
2 smaller the heat affected zone, the lesser--maybe they're  
3 still there, but you minimize perhaps the impact. So, we're  
4 looking at a lot of different avenues, I think, as look into  
5 the future.

6       CRAIG: Okay, thank you. That was a good exchange,  
7 excellent exchange.

8             Carl Di Bella followed by Mike?

9       DI BELLA: Thank you. This will be brief. Could you  
10 put back up Slide 36 of Joe Farmer's talk? My question will  
11 be brief; I don't know about the answer. This 36, this has  
12 to do with the brown bar at the bottom. The brown bar says 0  
13 to 1 percent frequency, but isn't that based on the binning  
14 procedure for seepage waters that was explained to us earlier  
15 in the day? That only extends up to maybe 110, 120 degrees  
16 Centigrade max. Above that, the environments are going to be  
17 based on, more than likely, dusts on the waste package and  
18 what their composition is. Or do I understand something  
19 wrong?

20       FARMER: No, no, I think you've got it right and  
21 actually it's a very good point. At the higher temperatures,  
22 let's say, above the boiling point up to the deliquescence  
23 point for calcium chloride, let's say 150, 160, kind of--  
24 frankly, it's a little bit difficult to quantify the  
25 deliquescence point precisely--but let's say 150, 160,

1 between that boiling point and that deliquescence point, you  
2 could have deliquescent brine formation. We have looked at  
3 the corrosion--or the susceptibility to corrosion in what we  
4 believe today to be one--perhaps not the only worse case  
5 chloride salt because, frankly, you have calcium chloride and  
6 you have magnesium-chloride and both of those are divalent  
7 cations which have similar detrimental effects on materials,  
8 but we have, in fact, looked at corrosion underneath these  
9 deliquescent brines in those high temperature regimes from  
10 the boiling point up to the deliquescence point. What we  
11 see, generally speaking, in regard to Alloy 22 is we do not  
12 see the same types of localized corrosion underneath a  
13 deliquescent brine that we see in what is, in fact, an  
14 aqueous solution where you have the possibility of convective  
15 stirring and all kinds of other things that can happen.

16           Now, as we go below the boiling point and we get  
17 into solutions that I would say are more typical of what most  
18 of us think of when we think of aqueous solution, you know,  
19 things that are actually liquid, in those scenarios we have,  
20 if we're below the boiling point, but above the threshold  
21 temperature for localized attack, we could have problems, I  
22 believe. And, again, these are observations. You know, we  
23 look at the samples and tell you what they say.

24           DI BELLA: This is the second time you've brought that  
25 up today. Would you say a little bit about the apparatus in

1 which you do that kind of observation and some more about  
2 your experiments with magnesium-chloride brines?

3       FARMER: Correct. Again, I'm going to remind you that,  
4 as we said before, these are Greg Gdowski's experiments.  
5 Greg is the real expert on this, but Greg does an incredibly  
6 good job of running these. It's a very unique capability we  
7 have. He hangs these samples in the thermogravimetric  
8 analyzer. It's an environmental TGA. He's capable of  
9 heating the samples, hanging from a quartz microbalance.  
10 He's capable of heating those samples up to relatively high  
11 temperature. And, we can actually take the TGA above 150  
12 degrees Centigrade, but frankly, Greg doesn't like to do that  
13 because he risks damaging the instrument. But, we routinely  
14 make measurements at 150 degrees Centigrade, very close to  
15 the deliquescence point of the calcium chloride. Under those  
16 conditions, he monitors weight change. As we showed you in  
17 our data, you can see the absorption of water, you can see  
18 the thermal decomposition of the chloride deliquescence brine  
19 and you can see that eventually stabilizes, and there's no  
20 further weight change of any significance. This is with the  
21 resolution at 10 micrograms.

22       DI BELLA: What you're showing is how an environment is  
23 evolving under those conditions, not how corrosion is  
24 occurring.

25       FARMER: No, we're also showing corrosion because in

1 addition to quantifying the deliquescent brine formation--and  
2 the nice thing about having the mass change data is you can  
3 observe the deliquescence process occurring. We also collect  
4 the sample from those exposures after many weeks to many  
5 months and we look at the surface. We look at the surface  
6 with optical microscopy. As Mark showed you, the project  
7 goes in, they use Raman spectroscopy to try to identify  
8 crystalline phases that occur on the sample. We do EDS to  
9 try to get elemental composition. So, a lot of work goes  
10 into looking both at the deposit that forms, the deposit  
11 that's put there intentionally, as well as the corrosion that  
12 occurs underneath. What we have seen, thus far, you know,  
13 and again this--I have frankly absolute confidence in Greg's  
14 data and I'm looking at this as an observer, but I have  
15 observed him and I've got absolute confidence in what he  
16 does. He's not seeing any localized attack of the Alloy 22.  
17 Now, we have had Alloy 825 as a candidate material before.  
18 That material does undergo localized attack. So, I believe  
19 that there's a big difference between these deliquescent  
20 brines, in terms of the types of negative impact that can  
21 occur, and a true liquid phase electrolyte where you can have  
22 convective mixing, the more normal transport processes.

23 DI BELLA: And, you're run the magnesium-chloride, too,  
24 you say?

25 FARMER: I'm sorry?

1 DI BELLA: You've run magnesium-chloride, too?

2 FARMER: There have been some tests done with magnesium  
3 chloride, but to be quite frank with you, I don't know the  
4 extent to which magnesium chloride has been tested in the  
5 TGA. So, I'll have to get back to you on that.

6 DI BELLA: Thank you.

7 CORRADINI: Can you go to the next slide since it's up?  
8 Corradini. All right. So, I guess, I have two points to--

9 FARMER: Oh, actually, I'm sorry, one followup. Mark  
10 just made a very good point in regard to Carl's question that  
11 I had overlooked or forgotten to mention. But, frankly, most  
12 of these brines have relatively little magnesium in them.  
13 So, the calcium chloride is the more relevant of the two  
14 cases, we believe.

15 CRAIG: A followup question. Carl?

16 DI BELLA: I can't let that go, I'm sorry. The brine  
17 that you're going to get is what deliquesces first. The  
18 compound with the lowest deliquescence point is magnesium  
19 chloride. Even if it's present in small amounts, it's going  
20 to come out first and you're going to have it. Now, you may  
21 argue it away for some other reason, but I think you are  
22 going to have it.

23 FARMER: Well, actually, there is--I do not foresee any  
24 situation--you know, I'll be the first to admit I can be  
25 mistaken. But, sitting here before you today, I can't think

1 of any situation where you're going to have pure magnesium  
2 chloride on the waste package surface. I think you're, most  
3 likely, going to have mixed salts on the waste package  
4 surface. I think those can deliquesce at relatively low  
5 relative humidities, but I think they're going to be much  
6 more complicated electrolytes than pure calcium chloride or  
7 pure magnesium chloride.

8       PETERS: Carl, and if you go back to the dust  
9 deliquescence calculations, it's not clear to me how your  
10 line of questioning flanges up with that.

11       DI BELLA: I'm talking about rewetting as opposed to  
12 evaporating concentration. I think the answers are  
13 different.

14       CORRADINI: All right. So, we're on 36. So, I'm  
15 looking at the graph and not being a corrosion expert, it  
16 looks to me like there are two mechanisms. And, I asked you  
17 this privately, Joe, but I guess I want to get at it. From  
18 temperature 60 to 90 or 95--it looks like 90 to me--we seem  
19 to have a plateau whether it's red or blue, and then at 90 we  
20 seem to have a different mechanism occurring. So, my  
21 question is twofold. One, I think you agree with that, and  
22 two, it goes back to Ron's point which I think is actually  
23 very well put is that if you're seeing something and it  
24 sounds like between the corrosion shop talk that I see in  
25 front of us, that something is occurring there. If you

1 understand the mechanism, you can go back and hopefully  
2 improve the performance because the spread--the only place I  
3 see spread experimentally is exactly at that point which  
4 implies to me a physical mechanism change. So, are you all  
5 right with that interpretation of that graph or am I off-  
6 base?

7 FARMER: No, I do not think you're wrong--

8 CRAIG: You need a--no, Mike, Joe, you've got to--yeah,  
9 right there. That's fine.

10 FARMER: Yeah, I think that's a point well-made and I  
11 had to get up actually to see the data. But, you know, there  
12 could very well be a mechanism change there.

13 CORRADINI: Okay. So, that's Point 1. Point 2 is what  
14 Ron--I'm taking Ron's point because I think the way he's laid  
15 it out in terms of possibilities of action are (a) you may  
16 have a problem, what is the problem, try to understand it  
17 physically or scientifically, and perhaps fix it; (b)  
18 probabilistically, Bill was making the point, if your claim  
19 it's 0 to 1 percent so a small amount of water--so let's take  
20 1 percent to be on the high side--so 1 out of 100 of these  
21 drips since we're talking seepage get to the point where  
22 there is an infected material which is a weld and it fails.  
23 What is failure and what does that mean in terms of  
24 radioactive transport because I think when I hear you talk  
25 about it, I hear that failure is inherently radioactive

1 transport. Is that correct?

2 FARMER: Yes. I think, frankly, we're looking at the  
3 repository and Bill Boyle is probably the most appropriate to  
4 give the best answer, but, you know, frankly, we don't look  
5 at any of these systems in isolation. You know, we put all  
6 these things together and see how they function together and  
7 what kind of dose they give at the site boundary and that's  
8 the real--

9 CORRADINI: Right. So, let me just restate my question  
10 because I'm leading to my third choice on this. One was to  
11 fix it and that's what Ron said. Secondly, I think he said  
12 it better, carry out the calculation and see where it leads  
13 you. And then, just from a probabilistic standpoint, if you  
14 guys are claiming 1 out of 100, the water may look like this  
15 and it may seep, then it's 1 out of 100 packages will  
16 experience this which means they'll have 1 out of 100 events.  
17 My question is what is the result of that event because, if  
18 I understand correctly, it's localized corrosion which means  
19 at a weld place or something such as that? Does that  
20 automatically lead, based on modeling, to radioactivity  
21 release?

22 FARMER: No, it doesn't. A very good point. And,  
23 actually, hopefully, I know you're hearing about the science  
24 and technology program tomorrow and I think these are the  
25 very issues, as I understand it, that the science and

1 technology program are supposed to deal with because,  
2 frankly, you know, a lot of us who have been on the project  
3 for many, many years look at this very much like an  
4 engineering project. We have sort of--maybe we didn't start  
5 out this way, but this is how we've evolved. But, I think  
6 that with the new science program that's starting, I know  
7 that there is a lot of interest in understanding localized  
8 corrosion phenomena. In fact, there are meetings that are  
9 planned right now. And, I believe that in addition--you  
10 know, we have only talked today about the initiation of  
11 localized corrosion. People who are far more experienced  
12 than I am, you know, are very interested in using--looking at  
13 things such as stifling of these localized corrosion  
14 phenomena. Just because something starts doesn't mean that  
15 it happens, you know, indefinitely.

16       CORRADINI: Okay. All right.

17       FARMER: And, those are things that are going to be  
18 looked at, I believe.

19       CORRADINI: All right. And then, my final question or  
20 point is--and again you guys tried to provide us a story from  
21 the point of it got hot, where did the water go, where did it  
22 come back, what's the water look like chemically, what does  
23 it do to the waste package? So, my question is now--let's  
24 just take my cartoon picture--I fail it locally. What's the  
25 transport mechanism at these temperatures to get the

1 radioactivity out? We haven't heard that part of the story.

2 FARMER: Right. And, Rob Howard actually setting up a  
3 mike. Rob can probably shed some light on this.

4 HOWARD: This is Rob Howard, Performance Assessment,  
5 BSC. If we do have localized corrosion and, let's say, we  
6 breach a waste package. We characterize what's the size of  
7 the opening? Is it a pinhole crack through seven inches of  
8 metal or is it a larger opening? We've got to get either  
9 water in and water out to have an injection release or it's  
10 just going to release radionuclides by diffusion. Bo pointed  
11 out that, you know, if we have diffusive releases only which  
12 would be likely in the scenario, presuming that it's on a  
13 weld on the lid which means it's on the side and not on the  
14 top, you're going to get diffusive releases of technetium and  
15 iodine, predominately, and maybe Carbon-14. Those kind of  
16 releases are orders of magnitude below what you would see as  
17 far as a medium standard and transport if you had wholesale  
18 dissolution of the waste package.

19 CRAIG: I wonder if I'm missing something about these  
20 Bins 1 through 3. There's an implication going through this  
21 conversation that all the other waters are totally benign.  
22 Does everybody agree with that?

23 FARMER: Well, everybody; I'm not everybody.

24 CRAIG: Do the waters people agree with that?

25 PETERS: Well, I mean, you--corrosion is the key. But,

1 well, yes, I think, is the answer. I'm speaking for myself,  
2 but, yes, they are benign. And, I said 1 and 2 are zero from  
3 the crown. I wasn't saying 1, I said zero.

4       FARMER: Actually, not to cop out on the answer--Joe  
5 Farmer again. So, I did say my name once. It turns out  
6 that, you know, we've done a lot of testing over the years.  
7 I mean, going back to the late '80s, we've tested a variety  
8 of materials, these and others. And, all these bicarbonate  
9 waters, you know, we've been criticized, frankly, for using  
10 J-13. Well, in the early days, that actually was a pretty  
11 decent estimate of the types of--at least, gave us the  
12 collection of ions that you expect out of the mountain. And,  
13 frankly, as we move forward and we've prepared synthetic  
14 versions of those waters and seen how those waters can evolve  
15 as we evaporatively concentrate them. We see that they do,  
16 in fact, move to the corners of the triangle, if you will, so  
17 that we are bounding the problem. And, the bicarbonate  
18 solutions tend to be very benign.

19               Frankly, the sulfate brines are even less  
20 problematic in my estimate than the bicarbonate brines  
21 because, if you remember from the polarization data we've  
22 shown you, there's this anodic oxidation peak in the alkaline  
23 bicarbonate brines. And, just like you don't want to hit  
24 potential where you have pitting, frankly, you want to not  
25 pass the potential where you have that anodic oxidation peak.

1 So, you have actually more margin in the sulfate type  
2 brines, I believe, than you do in the bicarbonate.

3 CRAIG: Terry, I'm going to stay with our list. I've  
4 got to put you--let's see, exactly on this subject. Go  
5 ahead?

6 CERLING: Well, yeah, this is actually a follow-on to  
7 your question really. And, that is if you take Zell's 55  
8 dust samples and you look at sort of the eutectic water  
9 composition that would form during deliquescence, you get--  
10 what sort of water composition is that and does it have a  
11 fairly restricted composition?

12 PETERS: For deliquescence, dust deliquescence as  
13 opposed to dust leachate, let's see, I can't remember which  
14 slide number it was, but there was a table--

15 SPEAKER: 32.

16 PETERS: Thank you. Yeah, the one we talked about at  
17 length, right?. Okay, that's in mine, Denise. I think what  
18 we're about to show is a graph that shows where the four  
19 representative--what sorts of compositions they evolve to.  
20 And, they're nitrate--I'm pulling from my memory, but they're  
21 nitrate chloride type brines.

22 SPEAKER: 32?

23 SPEAKER: 32.

24 SPEAKER: 32, yeah.

25 PETERS: So, these are the results of the EQ3/6

1 simulation.

2           CERLING: I guess, my question would be more if you took  
3 Peters'--oh, Cerling, Board--if you took Peters' Slide 30,  
4 the back two--sort of, I mean, here, you just have a two  
5 component system and you can see that the eutectic point is  
6 very well-defined and I was just wondering if you had--if you  
7 took Zell Peterman's data to see what sort of eutectic--what  
8 would be a eutectic mixture of the first water to form during  
9 deliquescence, what that would look like and if it's very  
10 variable between all of his different dust compositions.

11           PETERS: Good question. I'm not going to be able to  
12 answer that. We can get you an answer. That's going to be a  
13 level of detail that somebody like Tom Woolery is going to  
14 have to address. I just don't have that at my fingertips.

15           CRAIG: Okay. Let's go to Dave Duquette and then Norm.

16           DUQUETTE: A couple of brief questions. Joe, I'm not  
17 surprised that the 95 degree data don't show very much in the  
18 way of corrosion. That's basically testing a low temperature  
19 operating mode, is it not?

20           FARMER: Frankly, I wouldn't view that as testing a low  
21 temperature operating mode. I would view that as testing at  
22 low temperature because, frankly, you get into a low  
23 temperature operating mode and there are many things that  
24 come into play that we haven't accounted for here today, for  
25 example, the microbial growth. No, my personal view is the

1 MIC is going to be much more as the low temperature.

2 DUQUETTE: Sure, I understand that. But, it's just that  
3 the 95 degree seems to be, as we pointed out already, sort of  
4 a threshold where things seem to happen versus some other  
5 things that don't.

6 FARMER: Right, that's correct.

7 DUQUETTE: Now, if I understood the binning process and  
8 perhaps I didn't, but it was based on samples of water  
9 actually taken from the repository and in dividing them into  
10 various concentration categories. Am I correct on that?

11 FARMER: I will try to answer it again. Here, you're  
12 getting it secondhand. The materials, I understand, either  
13 from a firsthand basis or I'm close enough to the problem, I  
14 think, to speak as an expert, and this, you're getting my  
15 version of what people had told me they did and I believe  
16 they did as they said. I think they began with these pore  
17 waters, the five representative pore waters, and they used  
18 those as inputs to Bo's calculation. And, Bo will have to  
19 describe that for you. But, when you get down into the  
20 binning process, I think they're using EQ3/6 to actually try  
21 to predict how those waters would eventually evaporate and go  
22 through this chemical divide theory that Mark described for  
23 you. And, based upon where they end up, you know, which  
24 corner of the triangle they end up at, they then--and that's  
25 an oversimplification because, frankly, we use these

1 triangular diagrams, frankly, just to try to communicate with  
2 you today on these, frankly, fairly difficult topics to try  
3 to discuss. But, they basically try to predict where those  
4 waters will end up if they undergo evaporative concentration.  
5 But, they don't stop and use that water composition after  
6 that initial evaporation. They go back and capture the  
7 concentration they started with, and then based on the  
8 outcome of that simulation, they bin that initial starting  
9 water. Then, that is then later in the simulation  
10 evaporatively concentrated or, at least, simulated using  
11 EQ3/6.

12 DUQUETTE: That's what I thought. And so, when you have  
13 0 to 1 percent of water that's low in nitrate and high in  
14 chloride, is there a possibility based on that that 100  
15 percent of the containers will see 0 to 1 percent of that  
16 kind of water versus having only 0 to 1 percent of the  
17 canisters seeing that kind of water?

18 FARMER: Exactly. That's an excellent point. If you  
19 remember in the bar charts that I showed you and I'll have to  
20 look to see what number. I actually went into some of those  
21 simulations. Again, I mean, they're not my simulations. I,  
22 frankly, was doing very much what you're doing now just  
23 trying to understand and quantify what I had because I'm a  
24 user of this data. So, I actually went in and looked.  
25 You'll see that there's both the initial Bin concentration

1 plotted in those column charts. I think it's Slide 43, 43  
2 and 42. But, if you look at Slides 42 and 43--I'll wait  
3 until Denise has a chance to get it--

4 SPEAKER: For your presentation, have you got the right-  
5 -

6 FARMER: Yes, in Farmer's presentation, 42 and 43.

7 PETERS: Mark Peters, BSC. I'm not sure if this will  
8 help or not. What we showed was the crown waters that could  
9 potentially seep. It doesn't mean that they all seep. So,  
10 it ties back also to what drifts actually see seepage.  
11 That's a component of it.

12 DUQUETTE: No, I under--Duquette, Board. I understand  
13 that. I guess--

14 PETERS: No, I just wanted to clear that up.

15 DUQUETTE: I guess what I'm trying to sort out is is  
16 there a finite possibility that 100 percent of the containers  
17 will see this 0 to 1 percent of that particularly bad water,  
18 in which case you've got a much different problem than just  
19 addressing the fact that you have 0 to 1 percent of that kind  
20 of water present?

21 PETERS: Bo will correct me if I'm getting off track  
22 here, but I guess that's what I'm trying to say is it's a  
23 very low probability that it occurs in the crown and then all  
24 the drifts don't seep seepage anyway. Therefore, 100 percent  
25 don't see that kind of water composition.

1 CHRISTENSEN: Can I interject? This is one of the  
2 questions--

3 CRAIG: Okay. Your question is next. So, it's perfect  
4 timing. Go for it.

5 CHRISTENSEN: Well, this on the same thing. I guess  
6 that I had a hard time with--Christensen, Board--with  
7 understanding this time integrated relative frequency. Are  
8 we looking at probabilities through time or space or both?  
9 And, I'm just not sure if at any given time, the probability  
10 is 1 percent or if it's 1 percent integrated through time,  
11 and if so, what time--it seems like, particularly in this  
12 time sequence, this graft here, the actual frequency  
13 distribution of a given water at a given time might be  
14 different, but I may be misunderstanding that.

15 PETERS: It's integrating time and space.

16 CHRISTENSEN: So, that means then that the actual--at a  
17 given time that the actual frequency distribution in space  
18 might be different. Is that fair?

19 PETERS: Mark Peters, Los Alamos, shaking his head up  
20 and down, yes, that's true.

21 CHRISTENSEN: Okay. Yeah, I think that's part of the  
22 confusion here is knowing that--it seems then it really  
23 matters when, what is hitting the packages at what frequency.

24 SPEAKER: Fully agree.

25 PETERS: I would also, I guess, point out and Bill's

1 already made the point, I think we're out here doing the risk  
2 assessment on the fly here. I mean, this is going to be part  
3 of the total system performance assessment that goes forward  
4 and I'm personally going to express a little bit of  
5 nervousness that we're here doing the risk assessment real  
6 time when guys like Rob are going to go back and do the real  
7 thing. So, I guess, I would--you know, let's be careful  
8 about how far we take this on the record.

9 CHRISTENSEN: Well, that's why I asked the question. I  
10 mean, because you've expressed a lot more certainty about  
11 what that meant.

12 FARMER: Yeah. And, let me--if I could get back to  
13 Professor Duquette's question which I think was quite a good  
14 one, I actually went in and pulled out the numbers--I have  
15 the simulation files or the outputs from these files and I  
16 pulled the numbers to make this chart actually from the  
17 starting composition for Bin--I can't exactly see the chart  
18 from where I sit, but you should see Bins 1 through 4 up  
19 there and I'm assuming it's a nitrate chloride ratio. What  
20 we did is we went in and we captured the kind of starting  
21 nitrate chloride ratio and the end nitrate chloride ratio.  
22 Frankly, I was a little bit surprised myself because many  
23 times you actually see the nitrate chloride go up due to  
24 evaporation. I mean, not always, but in many of these cases.  
25 And, I think the simulations are good. It's just that these

1 are very complicated electrolyte systems and sometimes your  
2 gut feel or how you think it's going to work out isn't right  
3 or your gut is wrong because it's a much more complicated  
4 solution than you can guesstimate based on maybe your  
5 experience with a simple binary electrolyte or maybe a very  
6 simple ternary electrolyte.

7       CRAIG: Okay. I have three more people on my list at  
8 this stage; Leon Reiter, Dave Diodato, and--

9       CHRISTENSEN: I have one more question if I can.

10       CRAIG: Oh, sorry, Norm.

11       CHRISTENSEN: Quickly, Bo, this is for you. It relates  
12 to seepage which I think is very important in your argument  
13 and it relates to just the one bar graph that you showed that  
14 was relating percent seepage against percolation. I'm not  
15 sure which number it is, but it's--actually, it's on Slide  
16 #8. I wanted to understand that your argument that seepage  
17 is relatively unimportant seems to be based really on two  
18 pieces of evidence. Part of it is this set of bars where you  
19 show the relationship between percolation and percent seepage  
20 down to about 8,000 millimeters a year and then your general  
21 observation that we don't see seepage. I'm not sure--if you  
22 can help me, just how confident are you about the data setup  
23 in which these bars are based? I mean, is that really  
24 representative of the ESP, in general? Those were fairly  
25 confined areas where those studies were done, isn't that

1 correct?

2           BODVARSSON: The seepage testing has been done in quite  
3 a few niches and, first of all, you have several boreholes  
4 that have many different packed up intervals where you  
5 actually can do seepage tests. The heterogeneity of the  
6 formation has been characterized by air permeability tests  
7 that shows that they vary greatly just like the whole  
8 mountain does in terms of heterogeneity. So, we have done  
9 the seepage tests for many locations under very different  
10 hydrological property conditions, if you will. In spite of  
11 all of that, the results are very, very uniform in terms that  
12 the seepage thresholds seems to come through pretty much the  
13 same in almost all of these tests and they are basically a  
14 thousand millimeters per year in the (inaudible) lithophysal  
15 and maybe even 2,000 millimeters per year in the lower  
16 lithophysal. That actually has more fractures.

17           So, that if you look at the statistics of the tests  
18 and the number of tests and if you look at the statistics on  
19 the heterogeneity, I think you will convince yourself given  
20 the fact that the results are so uniform that we have a  
21 pretty substantial database to actually make the statements  
22 and have a confidence in the seepage threshold.

23           CRAIG: Okay. Leon?

24           REITER: Sort of an overlap of some of the other  
25 questions. Sorry, Reiter, Staff. Joe, you made the

1 statement and I wrote it down in my notes. It said that what  
2 percent of waste package failure is unacceptable?

3 FARMER: I said I will--and, you know, in due respect,  
4 if I said that, I was only--I don't--frankly, I don't think I  
5 know what percentage of waste packages are failing because,  
6 as Mark pointed out and I think appropriately, you know, we  
7 have professionals in risk assessment like Rob Howard and  
8 others who know how to do these problems and Rob can maybe  
9 address that.

10 REITER: So, if you said it, you said it. If you did  
11 say it, it turns out it's not you're trying to retract it?

12 FARMER: Well, first of all, I would--if there was a  
13 Court reporter, maybe we could check the transcript. I don't  
14 really recall saying it that way, but I would like to check  
15 and see.

16 CRAIG: Rob, do you have a number for us?

17 HOWARD: On what's the number of waste packages that's  
18 acceptable?

19 CRAIG: Yeah?

20 HOWARD: I'd have to say it depends on the failure mode.  
21 Right? If it fails by stress corrosion cracking or  
22 localized corrosion, it's a pretty high number if--you know,  
23 the worst thing that we've seen in the total assessment  
24 performance assessment is a waste package interacting with  
25 hot magma. That's bad. But, if it's localized corrosion and

1 it's, you know, a pinhole in every waste package, that's not  
2 an issue as far as regulatory compliance goes.

3       CRAIG: Okay. So, what we mean by failure is  
4 complicated?

5       HOWARD: Yes.

6       CRAIG: Yeah, good. All right, Dave passes. You're up,  
7 Ron Latanision.

8       LATANISION: Latanision, Board. First, Mark, I agree  
9 entirely. I mean, this should not be about risk assessment  
10 on the fly and I think your sensitivity is well-placed. But,  
11 you know, I will say that in my term as a member of this  
12 Board, this has been one of the most instructive  
13 conversations that I've been a part of. Frankly, I think the  
14 candor both from the point of view of the Board and the  
15 project is really, really healthy. So, despite whatever  
16 uneasiness we may feel, I think this is really an important  
17 and a good conversation.

18               Now, having said that, Mark, I want to turn to--

19       PETERS: I thought you were going to ask Bo a question.

20       LATANISION: I want to turn to the slide which number I  
21 can't find that showed the crown, the environments--

22       PETERS: 18.

23       LATANISION: And, I'm interested in the degree of  
24 confidence that you--when Paul asked the question do we feel  
25 confident that all of the other environments are benign or

1 something to that effect, you were very emphatic in your  
2 answer to that question and I just want to ask it in the  
3 context of what the basis for that is. And, let me just  
4 continue by saying that if I look at that table, it's very  
5 clear that 4, 9, and 11 are the majority members in terms of  
6 their population. And, it happens that 4 has apparently a  
7 nitrate presence, as does 9, and 11 has a carbonate presence.  
8 And so, in a way, I guess, I wouldn't be too surprised that  
9 they're relatively benign. But, if I look at #5, for  
10 example, which has a chloride population and no nitrates, I  
11 wonder what evidence there is to suggest that #5 which has a  
12 10 percent frequency is also an effectively benign  
13 environment?

14       PETERS: Yeah, I was basing that on my knowledge from  
15 hanging out with this guy here about what the material  
16 susceptibility is in the different--where our test data is  
17 and what the material susceptibility is in the different  
18 chemistries. So, that's where I held it up to Joe and said  
19 that's more of a corrosion issue.

20       LATANISION: Latanision, Board. Joe, if you can tell me  
21 that, you know, you've done some testing in that environment  
22 and you see no evidence of localized corrosion, then I'm  
23 satisfied.

24       FARMER: Yeah, actually, if we could pull up Slide 20 of  
25 my presentation, it's exactly like the same table--

1 SPEAKER: It's like his.

2 FARMER: Yeah, it's the same table as Mark's except it  
3 has an additional column, I believe. Yeah, Slide 20 out of  
4 43. Right, this one.

5 The first, let me see, one, two, three, four, five  
6 --the first five columns are identical to the table that Mark  
7 showed in his presentation. In fact, that's where I got the  
8 table. What we did is we took the solutions that we've  
9 tested in and you see them in that last column. We had our  
10 geochemists take those test solutions and bin those for us.  
11 They told us what Bin, what representative Bin, those test  
12 solutions fall in. So, in the cases of Bins 1, 2, and 3, we  
13 found that those that are 5 to 8 molar calcium chloride tests  
14 with and without nitrate fell to a greater or lesser extent  
15 in those various three Bins. Those are kind of the  
16 representative Bins for the calcium chloride. And, frankly,  
17 not terrible probable, but that's where those test solutions  
18 fall. And, that's where we've been spending a lot of our  
19 time lately. We then went back and looked at some of the  
20 earlier worst case solutions that we tested and that we  
21 thought were worst case at the time, the simulated saturated  
22 water, SSW, which is an extremely concentrated brine that has  
23 a boiling point of around 120 degrees Centigrade. We tested  
24 in that solution and we also tested in the SAW solution that  
25 you're well-aware of. Those test solution when they were

1 binned fell in Bins 4 through 7. Then, the others that we've  
2 used over the years, SDW, SCW, and BSW, fell in Bins 8  
3 through 11.

4           So, based upon the types of test results that we've  
5 gotten over the years from those various test solutions, this  
6 is the basis of probably my comment to Mark. We found, as  
7 you saw in some of the charts today, fairly good performance  
8 in SSW and SAW. For example, the SAW tests, you know, show a  
9 very large potential margin before we get right down to the  
10 passive film; probably the largest of any solutions that  
11 we've tested in. They simulated saturated water despite our  
12 concern--in the early days when we first formulated that, you  
13 know, it had a boiling point of 120 degrees Centigrade. We  
14 were thinking when you begin testing in a near-saturation  
15 environment at 120 degrees Centigrade, you know, maybe you  
16 were going to have some problems. But, as you saw in that  
17 one polarization curve I showed you today, we tested up to  
18 120 degrees Centigrade without breakdown of the passive film.  
19 So, I would say that that certainly isn't as aggressive as  
20 those calcium chloride solutions we showed you.

21           LATANISION: Joe, just to follow that up, though.

22           FARMER: Sure.

23           LATANISION: I mean, if I look at those solutions that  
24 are clustered in 4 through 7, I mean, three of them have  
25 nitrates. Do--

1 FARMER: Oh, you mean--oh, I'm sorry--

2 LATANISION: I mean, I'm interested--

3 FARMER: Oh, 4 through 7, yes.

4 LATANISION: Right, I'm interested in #5, for example.

5 Do either SSW or SAW--are either of them nitrate free?

6 FARMER: I have that data. Frankly, I can give you the  
7 exact compositions of that electrolyte, but I have to look  
8 back at a table to give you a milligrams per liter, whatever  
9 units you want.

10 LATANISION: Okay.

11 FARMER: And, I have that data on my laptop if I can get  
12 my laptop.

13 CRAIG: Okay. At this point, it's time to call the  
14 session to a close. First of all, two observations. No?  
15 Time, Richard, sorry. Yeah, well, you'll be faster with your  
16 hand next time.

17 PARIZEK: Not fair. I get the first question tomorrow.

18 CRAIG: First question tomorrow, okay. I don't know who  
19 the chair of it is, but you owe him one.

20 First of all, thanks to the staff for scheduling  
21 all this time for discussion. I really worked out very well  
22 and we should probably learn something from that. A great  
23 discussion. And, secondly--or, actually, first in  
24 importance, I found today's presentations to be the most  
25 compelling DOE presentation since I've been on the Board.

1 They were really wonderful presentations. You guys put a lot  
2 of work into it and it shows. It really does show and I want  
3 to thank you for it.

4 PETERS: Thank you very much.

5 FARMER: Thanks, Paul.

6 CRAIG: So, at this stage in the game, I think it's time  
7 for the public session.

8 CORRADINI: Okay. Thank you very much, Paul.

9 We have one speaker, Judy Treichel. There she is,  
10 I'm sorry. Judy?

11 TREICHEL: Is this on?

12 CORRADINI: Should be on.

13 TREICHEL: Okay. I know it's not proper to start out  
14 with a complaint, but in the interests of time, I think it's  
15 a mistake to put all of the public comment at the end of the  
16 session. You were in the midst of a great go-around here.  
17 You were all jazzed up. You were all part of it. And then,  
18 it had to cut off and now go to public comment that goes back  
19 to the beginning of the day. So, I feel like an irritation  
20 at coming up here at--that's sort of lousy at this late, late  
21 hour. But, I'll go ahead because I'm already here.

22 One time when I came to a Board meeting, my  
23 daughter made me a graphic and it was Alice in Wonderland and  
24 she had on a virtual reality thing on her eyes and it was  
25 because Alice had gone through the looking glass and then

1 she'd actually entered another dimension and that's about how  
2 I was feeling because things got so loony and I've seen a  
3 part of that here. And, part of it was in talking about one  
4 of the real dangers of the cold repository.

5           Getting off of all of the scientific stuff you're  
6 talking about was to go back to the EIS and it would result  
7 in traffic accidents. And yet, we, in Nevada, are having a  
8 hard time of convincing people that the nationwide  
9 transportation of nuclear waste with thousands and thousands  
10 of packages going across the country is a danger. It just  
11 seems as though some of this stuff gets into the realm of the  
12 loony and I wanted to sort of point that out that it's a  
13 really hard argument to sell the fact that people want jobs  
14 and they'll travel out there to go to those jobs. And,  
15 actually, this program was first tried to be sold as a JOBS  
16 program.

17           So, getting away from that, the other thing that  
18 bothers me and it has for many, many, many years, for about  
19 10 years, I tried to get people to drop the word  
20 "stakeholder". I finally gave up just because I got tired.  
21 I never thought it wasn't important. It's very important and  
22 now it's coming back again and I'm going to make the pitch  
23 again not to use the word "stakeholder". We're always just  
24 about this close--and for the record I'm holding my fingers  
25 about a half inch apart--to having stakeholder involvement.

1 The program is more than 20 years old or around that time, 15  
2 to 20 years, and we still haven't had public involvement.  
3 Nobody has done a decent job of ever defining what a  
4 stakeholder was. I think Ginger King many years ago said it  
5 was somebody who had a vested interest and a money interest  
6 in this program. And, that may be true, but that certainly  
7 leaves out the public. To think that the public gets  
8 involved because of something that has to do with cooperative  
9 agreements is berzerk. That's a working relationship. Those  
10 are people working for the project, cooperating with the  
11 project, and that has nothing to do with the public.

12           So, as we're coming down to things that are as  
13 important as other things where there should have been public  
14 involvement, don't use the word "stakeholder". It just plain  
15 doesn't work. Either the public gets involved in  
16 transportation or in licensing or in whatever we've got to go  
17 here or they don't. And, I would bet probably that they  
18 don't.

19           Quality assurance hasn't had a big involvement or  
20 what it should and it still isn't there and it wasn't there  
21 for site recommendation. We had a schedule and we beat that  
22 schedule to death and they got a site recommendation and they  
23 rammed it through, but it beat out the quality assurance.  
24 So, there's always just this sort of chase. And, last week  
25 while we were at a technical exchange, we were hearing that

1 the work on time dependency hasn't been done yet. Some of it  
2 hasn't even been started yet. The data is very, very  
3 preliminary, but the Department of Energy is talking about  
4 putting together a top notch license application. It's  
5 outpacing the sort of work that should have, I think, been  
6 done during site characterization. So, I think the Board  
7 needs to be aware of that and keep that in mind when you're  
8 discussing these other things.

9           I would just finish by saying that I've got to  
10 disagree seriously with Joe Farmer when he made the  
11 statement, "We'll never know everything about the materials  
12 or about the repository, but we have to build it." And, he  
13 warned people not to dwell on dire possibilities. Well, I  
14 would say that if we're ever going to consider the bad  
15 possibilities, we'd better do it now. And, I would also like  
16 to add that we don't have to build the repository. We never  
17 did, we don't now. Certainly, my hope is that we never will.

18           Thank you.

19           CORRADINI: Thank you, Judy. I was incorrect and I  
20 apologize. There is an additional person with public  
21 comment, Kevin Camps from Nuclear Information & Resource  
22 Service. Kevin?

23           CAMPS: Thanks. Thanks for this chance to make a brief  
24 comment. I just wanted to say a thank you to the Board. I  
25 haven't been able to attend meetings recently going all the

1 way back to before the Yucca Mountain vote. The Board's  
2 report that came out before the Yucca Mountain vote was very  
3 important. Our organization, Nuclear Information & Resource  
4 Service, represents people who live near Yucca Mountain,  
5 people who live along the transportation routes to Yucca  
6 Mountain, people who live near where the waste is at now, and  
7 the public had very few places to turn to in that highly  
8 politically-charged lead-up to the vote for objective  
9 information, trustworthy information, and this Board was one  
10 of the few places where the public could turn for that kind  
11 of information. It was very much appreciated. I just wanted  
12 to convey a thank you to the Board for that.

13           One of the things that has really concerned out  
14 membership for a long time and I did speak before the Board  
15 at a Las Vegas--actually, it was a Carson City Board meeting.  
16 The summer of 2000, I think, it was, is the whole  
17 transportation issue that time and time again has been  
18 shortchanged and deferred into the future. And, I would  
19 really encourage the Board to begin to really address that  
20 issue as a very important priority because the other agencies  
21 involved are finding it very convenient not to do that. I  
22 missed this morning's presentation by the Department of  
23 Energy representatives, but again it seems like a  
24 transportation plan is going to be put forth with very little  
25 involvement of the people who live along the transportation

1 routes who would be most affected, most affected by this  
2 decision.

3           One specific example of a subject area that needs a  
4 lot of attention is the issue of damaged fuel in the United  
5 States. I once heard a presentation by Bill Lake from DOE at  
6 a PATRM conference, Packaging and Transportation of  
7 Radioactive Materials, in Chicago in 2001 where he said the  
8 Department of Energy doesn't have much experience  
9 transporting damaged material. It seems to be an issue all  
10 over the country. There's damaged fuel at West Valley, New  
11 York that could be transported anytime between April 1st and  
12 October 1st of this year. That's not the only place.  
13 There's damaged fuel all across the country at reactor sites,  
14 elsewhere. So, I just really encourage the Board to begin to  
15 address such transportation issues as that.

16           My organization and I know there's other  
17 organizations here in D.C., public interest groups,  
18 environmental groups, that have similar concerns about the  
19 transportation issues, the routing, and I don't want to speak  
20 on their behalf, but I'm sure that they would communicate  
21 their concerns to you for future meetings, as well as our  
22 group would do.

23           Thank you.

24           CORRADINI: Thank you.

25           I now think we have no other public comments. Any

1 last comments by the Board or the Staff?

2                   (No audible response.)

3           CORRADINI: Okay. I think we stand adjourned. We'll  
4 convene again tomorrow at 8:00 o'clock. See you then.

5           (Whereupon, at 5:59 p.m., the meeting was adjourned.)