

UNITED STATES
NUCLEAR WASTE TECHNICAL REVIEW BOARD

FALL 2003 BOARD MEETING

Wednesday, September 17, 2003

Longstreet Inn
Amargosa Valley, Nevada
(775) 372-1777
Fax: (775) 372-1280

BOARD MEMBERS PRESENT

Dr. Mark Abkowitz
Dr. Daniel B. Bullen
Dr. Thure Cerling
Dr. Norman Christensen
Dr. Michael Corradini, NWTRB
Dr. Paul Craig
Dr. David Duquette
Dr. Ronald Latanision, Session Chair
Dr. Priscilla P. Nelson
Dr. Richard R. Parizek

SENIOR PROFESSIONAL STAFF

Dr. Carl Di Bella
Dr. Daniel Fehringer
Dr. Daniel Metlay
Dr. Leon Reiter
Dr. David Diodato
Dr. John Pye

NWTRB STAFF

Dr. William Barnard, Executive Director
Joyce Dory, Director of Administration
Karyn Severson, Director, External Affairs
Linda Hiatt, Management Analyst
Linda Coultry, Management Assistant

I N D E X

	<u>PAGE NO.</u>
Session Introduction	
Ronald Latanision, Member, NWTRB	330
Welcoming Remarks	
Henry Neth, Chairman, Nye County Board of Commissioners.	331
Performance Confirmation	
Deborah Barr, DOE.	334
Update on Igneous Program	
Peter Swift, BSC/Sandia National Laboratories.	403
Transportation Update	
Gary Lanthrum, DOE	445
Public Comments.	486
Adjournment.	493

1 looked at him and said, "Not yet." And, it just struck me
2 that that's a very timely sort of point of view on all of
3 these things right now. This is obviously a very important
4 issue to the people who live in the county and in the area.
5 We're delighted that you're here, frankly, and happy to have
6 an opportunity to talk with all of you.

7 Well, I'm also happy to welcome you to the second
8 day of his meeting and to thank the members of the Board and
9 the public who had an opportunity to talk. We really do
10 value the input of the public in our discussions, as you
11 know. So, these informal conversations are extremely
12 important to us.

13 I'm very happy to introduce our first speaker, Mr.
14 Henry Neth. It's obvious that another valuable source of
15 information for the Board are the elected officials in the
16 communities near Yucca Mountain. And, today, we're
17 privileged to have Mr. Henry Neth, the Chairman of the Nye
18 County Board of Commissioners present with us. He'll give us
19 a couple of his thoughts.

20 And, Henry, welcome to this session. I don't see
21 you, but I know you're in the room. There you are. Welcome.

22 NETH: Some of you may be expecting me to rip my
23 tie off. I'm not going to do that this year.

24 First off, I'd like to just talk about a study that
25 was done at the University of Minnesota many, many years ago

1 and it was about the great fears of human beings. During
2 that study what they discovered was one of the top fears for
3 human beings was--or the top fear for human beings was
4 speaking in front of a large group of people. The number two
5 fear was death. So, if I blow my talk this morning and I
6 don't do a very good job, you'll understand why.

7 I'd like to welcome you guys to Nye County and tell
8 you how much we appreciate you being here. Again, it adds
9 credence to the fact that the Project is located in Nye
10 County and that you would come out here and do your reviews
11 and review the information that's been gathered just gives
12 credence to the fact that you care about Nye County.

13 Nye County, the land of milk and bunnies, lizards,
14 snakes, and honeys and I couldn't fit legalized prostitution
15 in there, low-level waste storage, nuclear weapons testing
16 facilities, bombing ranges, and missile proving grounds.
17 This, along with legalized gambling, gives rise to some of
18 the most interesting games of chance we'll ever talk about.

19 We've always recognized the importance of the
20 Nuclear Waste Technical Review Board as a scientific
21 oversight entity. The function that you perform for the DOE
22 program and Nye's oversight efforts is invaluable and,
23 frankly, to me, quite daunting. What I mean by that is with
24 all the things that you know you know and all the things that
25 you know you don't know and all the things that you don't

1 know that you don't know, when you apply this to the storage
2 of high-level nuclear waste for the next several hundred
3 thousand years within a 50 mile radius of 35,000 of my
4 constituents, I'm just glad it's you guys and not me.

5 We strongly support these efforts and appreciate
6 very much the support you've given and continue to give our
7 own oversight activities. And, I'll preface that by briefly
8 mentioning Mr. Andrews' presentation yesterday and his
9 acknowledgement of Nye County's efforts over the years with
10 their independent scientific program along with the
11 cooperation of DOE. Greatly appreciated, Mr. Andrews. We
12 trust your function will continue to receive support and full
13 funding from Congress, as certainly hope ours will and any
14 help in this room, John, that can be given us is greatly
15 appreciated. We hope to be able to continue to work closely
16 with this Board, with your staff for the long-term as this
17 program moves forward.

18 In closing, I'd like to, once again, thank you for
19 your continued support of our oversight and independent
20 science investigation programs and for your recognition of
21 Nye County and it's unique challenges and the fact that the
22 Project is located in Nye County, not Las Vegas County.
23 Welcome and good morning.

24 LATANISION: Thank you, Mr. Neth.

25 Our first technical presentation of the morning

1 will be given by Deborah Barr. She will discuss DOE's
2 planned performance confirmation program. Deborah received a
3 BS and MS degree in geology with emphasis in igneous
4 petrology and geochemistry and has completed the course work
5 for a PhD program. Her duties at Yucca Mountain have
6 included full peripheral mapping, collection of fracture
7 data, preliminary analysis of the fracture data, and writing
8 of summary reports. Currently, she manages various aspects
9 of the science program including the thermal testing program
10 performance confirmation.

11 Deborah, welcome.

12 BARR: Good morning.

13 SPEAKER: Good morning.

14 BARR: Good, I was hoping I'd get a response. I see
15 some friendly faces here. I have to warn you, I don't wear a
16 watch. So, you might have to let me know.

17 I appreciate the opportunity to come and talk about
18 performance confirmation. As was mentioned, I have oversight
19 of the performance confirmation area. I also have thermal
20 testing and I also have engineered barrier system. It's
21 quite a span of topics. Until recently, performance
22 confirmation has been probably not one of the greater ones
23 that I cover. However, as we approach licensing, it's
24 becoming a bigger issue. It's becoming more recognized and
25 receiving more attention. And, I'm happy for that because

1 I've long looked forward to having serious interactions on
2 the content of this program so that we could hear from
3 others, you know, what they thought about the work that we're
4 doing in this area.

5 Now, although I have the opportunity to give this
6 presentation, what I'll be presenting actually is the great
7 deal of work and efforts that have gone on in this area on
8 the part of the BSC performance confirmation team. Jim Blink
9 is the manager of the performance confirmation area. Ahmed
10 Monib is the performance confirmation lead. As a part of the
11 efforts that we have done in this area, we applied a decision
12 analysis process that I'll talk about a little bit later. In
13 that area, we were very fortunate to have the assistance of
14 Karen Jenni and Tim Nieman of Geomatrix who gave to us their
15 great expertise and experience in this area which I think
16 added a lot of quality to the work that's been done.

17 So, next slide. So, first off, what I'll talk
18 about today is what our vision of the program is and was as
19 we were developing it. Then, I'll go on and talk about the
20 processes that we used in selecting activities that we would
21 include into the program. Then, after that, I'm going to
22 describe the program itself. The activities that were
23 included in it, I'll group them in areas and then the key
24 components of the program. And, just to kind of give away
25 the answer here, what we eventually ended up with at this

1 stage is 71 activities and they span the range of all of the
2 barriers that are currently described in our project
3 documentation, as well as disruptive events scenarios. And
4 then, I'll end up with telling you about where we're going
5 from here. We're at a certain stage at this point. It's an
6 evolving program and I'll describe to you what the next steps
7 are.

8 Next slide. Now, the first thing to understand is
9 that performance confirmation is not the only testing and
10 monitoring program that's going to be in place in the past,
11 now in the future. There are a number of other programs and
12 the ones in that really horrible shade of yellow with no
13 intent to reflect upon the content of them are the ones that
14 are called out by the regulation. Also, on that chart, I
15 show the science and technology program. Now, this is not
16 intended to be a comprehensive list of all of the testing
17 monitoring programs that will be taking place. This is just
18 some of them. In this area, you can see at the bottom at the
19 middle it says "NRC specified tests". That is not intended
20 to be a category of testing in and of itself. That is just
21 to recognize that the NRC has the ability to specify tests in
22 any of the programs that they define in the regulations. In
23 the science and technology program, this is an area where we
24 have quite a bit of interaction with them. We have had
25 successful interactions with them in the past. They have

1 been very receptive to working with us on the things that can
2 improve our program and they have already made some
3 contributions in some of the technical areas that we have.

4 Next slide. So, what is the difference between
5 performance confirmation and any of these other programs?
6 Well, the performance confirmation program has activities
7 that are specifically designed to confirm our technical basis
8 for the licensing decision. That is as it's described in the
9 regulations as the purpose of the program. And, also, this
10 program will test the functionality of the total system and
11 barrier performance. So, those are the primary purposes of
12 goals of the performance confirmation program. Other testing
13 and monitoring programs may have other purposes and goals and
14 they may be things like increasing confidence or meeting
15 other regulatory requirements. Now, this is not in any sense
16 to say that performance confirmation activities will not
17 increase confidence; however, that's not their primary
18 purpose. They are to confirm our licensing basis.

19 Next slide. And so, the role and requirements for
20 performance confirmation is, as I said, clearly laid out in
21 the regulations. The NRC requires that we have a performance
22 confirmation plan as a part of our license application. And
23 then, they go on to say that this performance confirmation
24 program should demonstrate that the system and subsystem
25 components are behaving as predicted. You can see in the

1 text of the regulation on the bottom in blue that they say
2 that, "The program must provide data that indicate, where
3 practicable, whether natural and engineered systems and
4 components required for repository operation, and that are
5 designed or assumed to operate as barriers after permanent
6 closure, are functioning as intended and anticipated."

7 Next slide. We've actually been working on
8 performance confirmation for quite a number of years. I
9 joined DOE for the most part in the summer of '98. I was
10 working before that in the tunnel collecting data. But, in
11 '98, that was when I first started working with this program
12 and I worked on or off with it over the years since then.
13 And, there was already a program in place at the time we
14 were, you know, evolving this program over time and it was
15 definitely in place even before I started working with it.
16 So, when we looked at updating the program at this point in
17 time, there were a number of motivations for doing so. The
18 first, of course, was that we now have a finalized 10 CFR 63
19 that is available to us. So, we needed to make sure that the
20 program was in line with that finalized 10 CFR 63.

21 We have available to us also the expectations as
22 laid out in the Yucca Mountain Review Plan. We wanted to
23 reflect the barriers that were important to waste isolation
24 and this was, of course, something that is evolving over
25 time. So, we needed to make sure that the program is up to

1 date in this area. And, we also wanted to use a risk-
2 informed performance based process in determining how we
3 should go about confirming barrier's performance. We also
4 wanted to make sure that the program was consistent and
5 compatible with repository operations. This changes over
6 time. We need to make sure that we're keeping up to date on
7 it. And, this program will continue to be updated over time.
8 This version that I'll be describing today represents a
9 snapshot in time. It's different from it was in the past.
10 Will it change before LA? Probably. Will it change over the
11 life of the program? Without a doubt. This is an evolving
12 program. As we gain new information and a better
13 understanding of things, this program will evolve to reflect
14 what information is available.

15 Next slide. So, as we were looking at revising
16 this program, what were some of the things that we were
17 looking at having in the program, what was our vision of the
18 program? Well, first off, of course, it's based on 10 CFR 63
19 and the requirements therein, as well as the things that we
20 can glean from the Yucca Mountain Review Plan. However, we
21 understand that the NRC did not provide for us a checklist of
22 activities that we had to meet in the regulations.

23 They provided guidelines for us and that the intent
24 was for us to take a comprehensive and thorough look at those
25 things that are truly critical in overall system and barrier

1 performance. And so, that is what we strive to do in the
2 development of this particular version of the program. Not
3 all activities are equally important. We needed to find a
4 way to determine the complexity, extent, and number of
5 activities that would be included and we did so in a risk-
6 informed performance based manner, we believe.

7 This program needs to confirm operations rather
8 than imposing substantial design requirements meaning that
9 the performance confirmation program should not drive the
10 design. It should be the other way around.

11 And then, finally, this program needs to provide
12 DOE with the information that would be needed to support a
13 license amendment for closure.

14 Next slide. So, I'm going to go on and talk about
15 first the decision analysis process that we used in
16 developing the performance confirmation program. I'll try to
17 keep this somewhat brief because I know I've received
18 feedback that, you know, it's too long, but I'll try to make
19 it short and we'll get on to what you really want to hear
20 about which is, you know, what's in the program itself.
21 However, this is an important basis for our understanding why
22 things are in the program and why they may not be. And so, I
23 think it's an important thing for us to cover.

24 Now, the decision analysis process that we used is
25 based on performance assessment. And, when I talk about

1 performance assessment, I'm talking about the process
2 extraction, as well as the total system model. The
3 performance assessment barriers and scenario classes were the
4 bases for this effort, this decision analysis effort. And,
5 performance analysis technical staff were providing technical
6 judgments. Performance assessment managers were providing
7 management judgments that all became a part of this program
8 as defined here.

9 Next slide. Decision analysis approach has certain
10 advantages that added to the overall quality of this effort
11 here. By using this decision analysis approach, we can
12 provide a consistent logical and defensible basis in
13 evaluating and comparing activities that we might consider
14 for inclusion in the program. This approach acknowledges
15 that there are tradeoffs, potential tradeoffs, between
16 different objectives and goals that you may have to consider
17 as you're developing your program. And, the technical basis
18 for this decision analysis approach was a formal multi-
19 attribute decision and utility analysis. This approach
20 basically is a technically sound mathematical method of
21 evaluating alternatives when you have more than one objective
22 that's important. It's also a tried and true method. It's
23 been used in private industry, as well as the Federal
24 Government, since the late '70s in evaluating complex
25 decision problems.

1 Next slide. Now, I'm going to be using certain
2 terminology throughout the rest of the presentation and I
3 thought it would be helpful here to give you a little bit of
4 a definition because sometimes it can be a little confusing.
5 I'll be using the word "parameters". And, a parameter is a
6 thing that can be measured or observed. For instance, a
7 parameter might be temperature and relative humidity of the
8 waste package. It might be rainfall. You know, it's
9 something that you would measure. Then, when we talk about a
10 method or a data acquisition method, that's the means for
11 measuring that parameter. So, for instance, for temperature
12 and relative humidity of the waste package, one method might
13 be monitoring temperature and relative humidity in the air in
14 the emplacement drifts. Or another potential method, data
15 acquisition method, might be using a remote operated vehicle
16 to make those measurements on the waste package surface in
17 the emplacement drifts. Or, for rainfall, it might be
18 having, you know, rainfall monitor--you know, equipment out
19 there to make the measurements. Now, when we have a
20 combination of a parameter and a method, a data acquisition
21 method, that is an activity or a performance confirmation
22 activity. So, an activity is both the parameter and the way
23 that it's going to be measured.

24 Later on, I'll also be talking about portfolios. A
25 portfolio is a set of performance confirmation activities

1 which is a--basically, it's a potential performance
2 confirmation program. We looked at a number of possible
3 portfolios that I'll describe later. Each of those was a
4 potential performance confirmation program. Then, of course,
5 the performance confirmation program is the selected set of
6 performance confirmation activities.

7 Next slide. There was a three phase approach that
8 was applied and I'll begin to cover the first phase right
9 here which is activity evaluation. The second one was the
10 development of the portfolios and evaluation of portfolios
11 and the third was the selection, final selection. So, in the
12 activity evaluation stage, this was basically combining
13 technical judgments with management judgments, management
14 value judgments. So, this phase right here, I'll talk about
15 those particular aspects of it.

16 Next slide. Now, there are countless possible
17 activities that you could have in a performance confirmation
18 program and we needed to develop a way of prioritizing them,
19 of looking at them to see, you know, which ones gave us more
20 benefit, which ones were perhaps of lesser benefit. And so,
21 to do that, we developed activity evaluation criteria. We
22 had to have a clear idea in mind how to determine what we
23 thought was important in an activity, what it is that we
24 thought was truly important to determining whether it was
25 needed in performance confirmation. And so, there was a

1 workshop held in August of last year in which three criteria
2 were developed and defined that we then used in estimating
3 the potential impact of a performance confirmation activity
4 on the program.

5 The three criteria here, I'll walk through them.
6 The first is sensitivity of the barrier or total system
7 performance to the parameter. So, for example, if we are
8 measuring temperature and relative humidity of the waste
9 package, how sensitive is the barrier performance to that
10 measurement or how sensitive is total system performance to
11 that measurement?

12 The second is confidence in the current
13 representation of parameter. If we're talking about
14 measuring temperature and relative humidity of the waste
15 package, what is our confidence in our current representation
16 of that parameter?

17 And, thirdly, the accuracy with which the proposed
18 activity measures or estimates the parameter. If we say that
19 we're going to measure temperature and relative humidity of
20 the waste package in the emplacement drifts by remote
21 operated vehicle directly off of the waste package surface,
22 how accurate is that measurement, that activity, at getting
23 at what it's intended to get at?

24 The various people that were involved in this
25 workshop were the technical investigators covering the

1 various areas, as well as the performance assessment analysts
2 and managers. There was also DOE staff represented there.

3 Next slide. So, using those three criteria, a set
4 of questions was developed. A questionnaire was developed
5 that we would use in applying to each of the proposed
6 activities. So, every single activity that was proposed, we
7 have this questionnaire that was applied to it. The goal of
8 having this questionnaire was to have the technical input--is
9 determining how well any of the proposed activities meet the
10 three criteria. Also, another goal of the questionnaire was
11 to improve consistency across the model areas. By using the
12 same questionnaire for all proposed activities, we gained a
13 certain amount of consistency across the board.

14 There were workshops held a year ago this month in
15 which all of the technical groups were represented. There
16 were separate ones for each of the groups. And, in those--in
17 the workshop, the groups would develop a list of proposed
18 activities and it was pretty comprehensive. We started out
19 with quite a number of proposed--well, I'm sorry, they were
20 proposing parameters. Then, they went on to develop the data
21 acquisition methods for each of those parameters and propose
22 one or more methods of data acquisition for each.

23 And so, it must be senility setting in, I'm sorry.
24 I thought I'd at least last beyond the 30s here, but--okay.
25 And then, also at the workshop, there were--we walked

1 through the questionnaire for a couple of the activities that
2 have been proposed by each of the groups so that they would
3 understand how to apply the questionnaire, what the questions
4 meant so that, you know, we were making sure that they truly
5 understand how they were supposed to be answering the
6 questions. Not in that we were giving them the answers, but
7 they understood the intent of the question and what it was
8 aimed at achieving.

9 Next slide. And so, very briefly here, I'm just
10 going to kind of skim past this slide. But, the
11 questionnaire basically was broken up into various things.
12 The overall intent was to develop a utility for each
13 parameter or for each activity. And, a utility, basically we
14 distilled it down to a numeric representation of the utility
15 or the benefit of that activity based upon their responses to
16 these questions in the questionnaire. And so, getting at
17 those three criteria that we talked about earlier, we were
18 looking at things like the value of perfect information of
19 the parameter. If you were able to obtain perfect
20 information which, of course, we know is not entirely
21 possible, what is the value of obtaining perfect information
22 for that particular parameter. And that, of course, was
23 broken down into things like sensitivity of the system
24 performance or the sensitivity of barrier capability,
25 sensitivity of conceptual models, as well as our confidence

1 in our current representation. So, those cover the first
2 two. Remember the sensitivity and the confidence. Then,
3 when we talked about accuracy as the other criteria, that's
4 the right side of the chart here. There were questions
5 derived at getting--aimed at getting the directness of the
6 measurement and the accuracy of the proposed measurement.
7 And so, at the bottom of the page here, there were some--it's
8 probably too small for you to read from here--but these are
9 some of the questions that got at those aspects of the
10 criteria.

11 Now, the entire questionnaire is in the backup
12 material and I should have mentioned this earlier. When you
13 saw the thickness of the packet, don't despair. A lot of it
14 is like backup slides. So, you can see the entire
15 questionnaire at the back of the presentation in the back of
16 the material.

17 Now, these were not open-ended questions. These
18 were not fill in the blank at the end or anything like that.
19 We gave them multiple choice answers and we defined the
20 meaning of the possible choices and the multiple choice. You
21 know, for instance, highly confident, moderate confident, you
22 know, so on, and then we would give examples of what you
23 might consider to be highly competent or moderately competent
24 and so on.

25 Next slide. And then, somewhat concurrently at

1 this point, the managers the BSC managers were developing
2 their management value judgments which were going to be added
3 to those technical judgments. BSC managers reviewed the
4 overall process that was being used to date at this point and
5 they endorsed the criteria as being the appropriate criteria
6 to be used in evaluating activities. They then answered a
7 series of tradeoff questions which were designed around the
8 very same questions that were being given to the technical
9 people. These were to establish management value judgments
10 about the relative importance of the criteria because even
11 the criteria, not each one is equal in value, and so we
12 wanted to obtain some management value judgments to determine
13 the relative importance of the various aspects of the
14 questionnaire. Those management value judgments were used in
15 conjunction with the technical judgments, combined with them,
16 to establish an overall utility for each activity. And,
17 again, we have a cast of thousands involved in all this.

18 Next slide. And so, in summary, in Phase 1, we
19 started off with 237 parameters. In summary of Phase 1. I'm
20 sorry, I'm really not--almost done. We started off with 237
21 parameters and a total of 360 activities which were initially
22 identified by the technical people. After discussion,
23 evaluation, and consolidation with those same people--we
24 certainly didn't do this in the absence of the people who
25 provided that input--we ultimately ended up with 204

1 parameters and 287 total activities. Remember, activity is a
2 parameter, what you're going to measure with how you're going
3 to measure it. 287 total activity remained. Once the
4 utility values were developed using that decision analysis
5 process, you know, once they applied the questionnaire and we
6 applied the management values and we came up with a utility
7 for each of those activities, a meeting was held with the
8 representatives of the technical experts. The results were
9 presented to them so that they could see whether it really
10 fell in line with their understanding or their belief in the
11 importance of the various activities that they had proposed.
12 In a few cases, they may have had reservations about the
13 results that came out of the decision analysis process. They
14 may have felt that the utility value which was applied to it
15 was not really in line with their conceptual understanding of
16 that activity. And, if that was the case, then these
17 alternative rankings were carried forward through the
18 development of the portfolios in the next phase. We then
19 went on to do some initial cost estimates of each of the
20 activities so that we could use them in the development of
21 the portfolios.

22 Next slide. So, the next step, the next stage, was
23 Phase 2 and that was the development of the portfolios. And
24 so, first off--well, let's go ahead into the next slide.

25 Why do we want to consider portfolios? Why not

1 just, you know, have a list of activities, have their utility
2 values next to them, rank them in order of the utility
3 values, and just pick some arbitrary cutoff line? Well,
4 there are a number of reasons why we wanted to look at
5 portfolios or possible performance confirmation programs as a
6 whole. You may not get the best portfolio by ranking them by
7 utility and making some cutoff. There are some regulatory
8 requirements which may not be captured in that way. As a
9 matter of fact, in the list of total activities, there was at
10 least one regulatory requirement which was not captured, at
11 all, and we had to add in later manually. And, also, if you
12 consider activities individually, then you may not account
13 for potential synergies between them. Also, when we're
14 looking at the potential costs of a particular program or
15 portfolio, some of those can't be assigned on an individual
16 basis. There's a potential for shared resources and that's
17 for costs and infrastructure, as well, that can be assessed
18 when you look at a portfolio as a whole rather than looking
19 at individual activities. And then, also, by looking at a
20 portfolio as a whole, we can compare it against the
21 regulations and evaluate it for our regulatory compliance, as
22 well as what the total cost of a portfolio might be.

23 Next slide. So, we developed a number of
24 portfolios and there were a number--when you consider the
25 portfolios, clearly, the idea is that you have some

1 distinguishing factor between them. There has to be some,
2 you know, fundamental difference between possible portfolios.
3 And so, these were developed in advance of actually, you
4 know, just throwing things into a bin and seeing how they
5 turned out. Some of these portfolios were looking at things
6 like emphasizing, getting the best value for the available,
7 you know, cost. There was another portfolio that looked at
8 hypothesis testing. It had a philosophy of testing certain
9 hypotheses. There was a portfolio that emphasized off-site
10 work and another that emphasized on-site work. There was a
11 number of portfolios that were developed along these lines.
12 Each one of those portfolios was required to address all of
13 the requirements in 10 CFR 63 and so we needed to make some
14 adjustments sometimes to make sure that that was the case.
15 But, every portfolio that was considered in Phase was
16 believed to meet all of the regulatory requirements. And
17 then, of the 11 portfolios that were developed in terms of
18 philosophy, there were six that were then developed in
19 further detail because we felt that they had more potential.
20 And so, in that area, we developed more information as far
21 as scope, costs, and robustness. When I say robustness here,
22 I'm talking about robustness in meeting the regulatory
23 requirements.

24 Next slide. And so, when we have these portfolios
25 that we were looking at, there was certain criteria that we

1 looked at as far as being able to assess the differences
2 between them, the potential advantages or disadvantages
3 between them. We looked at things like mapping them against
4 the regulations in 10 CFR 63. As I mentioned, all of them
5 were designed to meet those requirements, but not all of them
6 met them in equal amounts. In the backup material, there is
7 a table where you can see that in the final portfolio that
8 was developed, it maps it against the regulations. So, you
9 can see the number of activities, the type of activities that
10 were aimed at addressing at each of the parts of the
11 regulation. We looked at total activity on numbers within
12 each of the portfolio. We added up the utility value so that
13 we could see what their total utility values were. Then, we
14 also looked at the operating costs for each of the
15 portfolios. We looked at things like the utility values as
16 summed up for how they met each of the regulatory
17 requirements in each of the portfolios. And then, we also
18 did a subjective assessment of each of the portfolios against
19 the requirements in 10 CFR 63.

20 Okay, next slide. And then, so what we ended up
21 with at the end of Phase 2 was a number of portfolios to
22 carry forward for consideration.

23 Next slide. At that point, the BSC manager of
24 projects and senior advisors reviewed all of those portfolios
25 and also the detailed evaluation of the six that were more

1 comprehensive. And, they selected one of the portfolios as a
2 starting point. They didn't feel that any one of the
3 portfolios was entirely satisfactory in and of itself. And
4 so, they selected one of them as a starting basis for the
5 program. They then asked that certain changes be made. They
6 asked that in the areas where this one portfolio was judged
7 to be a little bit weaker in terms of meeting the regulatory
8 requirements, they asked that some activities be added to
9 strengthen that regulatory robustness. Then, they also asked
10 that the activities in the portfolio be described in terms of
11 their relationship to the paragraphs of 10 CFR 63. In a
12 sense, what they were asking to see was how we were going to
13 present it to the NRC? What was the kind of text we were
14 going to use in demonstrating to the NRC that we felt that we
15 were adequately meeting all of the requirements?

16 Next slide. So, once that modified portfolio was
17 developed, it was brought back before BSC management and in a
18 series of meetings the BSC management then reviewed this
19 modified portfolio in much more detail. They looked at every
20 single activity very specifically and then they made
21 adjustments to that portfolio based again on management
22 judgment and on programmatic considerations. And so, of the
23 initial list of activities that was brought before them, they
24 removed 26 from the portfolio because they determined that
25 those activities were better suited to other testing

1 programs. That they did not necessarily entirely fit the
2 definition of performance confirmation. They were better
3 suited towards the goals of some of the other testing
4 programs. One was deleted. There were three that were
5 combined with other activities because it was determined that
6 they made a more logical unit as combined. Then, three
7 activities were changed in scope to some extent and two new
8 activities were added. Now, there's a table of these changes
9 that's in the backup. So, you can see the specific
10 activities that were removed, deleted, modified, added,
11 whatever, and what the rationale was for it.

12 Next slide. And so, now we get to what is in the
13 final program. The list of activities that made the final
14 program is also in the backup and it's on Pages 67 and 68. I
15 am not going to walk through them specific activity by
16 activity, but I'm going to group them in a sense.

17 Next slide, please. These are going to be grouped
18 in the next few slides into risk-informed categories. I'll
19 start off by talking about activities related to the
20 disruptive scenario classes, those with the highest risks
21 scenario--well, I'll start with the highest risk scenario
22 class first which is the igneous activity scenario class and
23 then I'll talk about the activities related to the seismic.
24 I'm then going to go on and talk about biosphere related
25 activities that are downstream of the nine barriers and this

1 order is not to imply that these biosphere activities are the
2 next highest risk ones. It's just that they flow better
3 logically because they're somewhat tied to the previous
4 material. Then, I'll talk about the nominal scenario classes
5 and in the order described on this slide. I'll start with
6 waste package and drip shield and then work my way down to
7 cladding, waste form, and invert.

8 Next slide. Igneous activity is the largest single
9 contributor to the probability weighted annual dose to the
10 reasonably maximally exposed individual. And, because of
11 this, the performance confirmation activities in this area
12 are aimed at confirming the assumptions, data, and analysis
13 of igneous events.

14 So, in this area, we have them broken up into three
15 categories. The first is the probability of occurrence of
16 igneous events. This covers things like drilling of
17 aeromagnetic anomalies and updating our probability estimate
18 with improved data sets that are available. We then go on
19 and cover consequences of igneous events. So, this would be
20 calculations and analog studies that get at the number of
21 waste packages hit by magma. There's also work activities
22 that relate to the behavior of contaminated ash, a number of
23 activities. And, these get at the categories described here
24 in the bullets; ash loading, resuspension, redistribution,
25 etcetera.

1 And then, also under consequences, we would
2 incorporate improved data sets into an evaluation of the area
3 and that may or may not end up being an expert elicitation.
4 It would be whatever was the appropriate vehicle.

5 Then, there's also an activity related to precursor
6 conditions and that satellite monitoring of regional
7 extensional tectonics which is an ongoing activity.

8 Next slide. Seismic activity is expected to be a
9 significant contributor to the probability-weighted annual
10 dose to the RMEI. And, because of that, again we have
11 activities in here which are aimed at confirming assumptions,
12 data, and analysis of seismic events. And so, these may
13 include things like extending our existing lower strain data
14 set into higher strains, such as dynamic properties of rock
15 and soil that are associated with major seismic events.
16 Seismic activity in the regional sense and near-field ground
17 motions would be another activity. This would be monitoring
18 for seismic activity and its consequences. This again is an
19 ongoing activity which we have done in the past and would
20 continue on into the future. And then, of course, in the
21 event of strong ground motion, we would have inspection of
22 surface and underground for the presence of fault
23 displacement in the drifts or things like that. This again
24 would be, you know, one of those activities that occurs as
25 needed in the event of an activity or in the event of an

1 event.

2 Next slide, okay. Now, the biosphere related
3 activities, these are potential multipliers of dose. And,
4 also, during the period of time prior to repository closure,
5 human activities in the region are likely to change. And,
6 because of that, we have activities aimed at getting at those
7 factors. So, there would be a periodic survey of the
8 reasonably maximally exposed individual characteristics and
9 of occupational dust levels and this would be to conform that
10 we've adequately captured the potential changes to these
11 parameters in the work that we're doing now. This is an
12 ongoing activity.

13 Also, natural analog studies for nominal and
14 disruptive scenario classes looking at the movement of
15 radionuclides added to soil and their migration back to the
16 water table where there's a potential for them to be pumped
17 back to the surface. Another activity is radionuclide
18 movement to humans by plants and then also the radionuclide
19 movement to humans by soil ingestion. And, this again is for
20 nominal--all of these are for nominal and disruptive scenario
21 classes.

22 Next slide. Okay. Now, the next categories that
23 I'm going to cover are a little bit more geared towards
24 underground measurements and so because of that I want to set
25 the stage here by describing some of the facilities and the

1 things that will be available to assist in this program.

2 Here's a layout of--this is the first panel right
3 here and you can see in red here there's an observation
4 drift. This would be for performance confirmation and then
5 there's also an alcove off of it here. These are part of the
6 performance confirmation facilities. The third and the
7 fourth drift in the first panel would be dedicated
8 performance confirmation drifts. In this case, the plan is
9 that they will be accelerated drifts where we will attempt to
10 have a post-closure condition that we can look at in the pre-
11 closure time period. And so, Drift 3 would be accelerated by
12 adjusting the ventilation and this drift would be looking at
13 near-field processes. On Drift 4, that would be accelerated
14 by waste package aging and derating and the emphasis of that
15 drift would be to look at in-drift processes.

16 Okay. Next slide, please. And so, in the waste
17 package and drip shield area, we have some activities that
18 are intended to look at both of those. So, I'm going to
19 cover those on this page. The waste package in the
20 environment created by the natural system is expected to
21 isolate the radionuclides from the reasonably maximally
22 exposed individual by preventing water from reaching the
23 radionuclides. And so, in doing performance confirmation
24 activities in this area, we would look at activities that get
25 at the mechanistic details of waste package and drip shield

1 corrosion. So, these would be things like general corrosion,
2 phase stability of Alloy 22, localized corrosion, and
3 microbial corrosion. These are again ongoing activities,
4 some of these are. Actually, I think all of these are.
5 Yeah. And then, we would also work to strengthen the
6 extrapolation over to 10,000 years.

7 Lab tests on mock-ups to confirm stress sources on
8 the waste package and drip shield would be done and this
9 would be looking at the consequence of rockfall and seismic
10 activity. Then, again, there are activities related to waste
11 package and drip shield environments and these would be in
12 the thermally accelerated drifts we would use instruments to
13 collect samples and we would have remote operated vehicles to
14 look at the environment in there and do the activities
15 related to waste package and drip shield. These would
16 include things like temperature, humidity, dust composition,
17 gas composition, and so on, you know, as is listed here in
18 the bullets. And then, it would not only be testing that
19 occurs in the accelerated drifts; it would also be testing
20 which would occur in the emplacement drifts, as well.

21 Next slide, please. Those activities that are
22 related to waste package only would be things like monitoring
23 for radionuclides in the exhaust air. This would be having a
24 sensor at the end of each drift that could measure for
25 radionuclides, as well as measuring for temperature and

1 humidity. Also, we have the potential of monitoring the
2 pressure seals of all the waste packages or as many as we
3 deem to be important. This is an area where actually we've
4 already benefited from working with the science and
5 technology group. We had a vision of a kind of instrument
6 that could be put between the lids of the waste packages that
7 would be able to indicate a change of pressure. And, when we
8 were working with the S&T group as far as discussing the
9 potential technology needs that would be of assistance to the
10 performance confirmation program, this was one area where
11 they were able to work with us very closely and enable us to
12 gain some information so that we know that this technology is
13 essentially already developed and potentially we can use this
14 in measuring the pressure seals of waste packages.

15 Okay. Now, next slide, please. For drip shield
16 activities, the ones that relate to drip shield only, we have
17 an activity related to acoustic and seismic tomography which
18 would be looking at rockfall detection. Inspection of the
19 drifts using remote operated vehicles. So, there would be,
20 you know, a visual inspection. And, before you say, well,
21 there's no drip shields in the pre-closure period, that's one
22 of the aspects of the accelerated drifts is that potentially
23 part of the drifts may have drip shields in place so that we
24 could look at the behavior of those. With the remote
25 operated vehicle, we would be looking at the other drifts in

1 terms of ground support integrity. Drift shape monitoring by
2 remote operated vehicle is another of the activities that
3 would be related to the drip shield.

4 Next slide, please. Okay. The mechanical,
5 hydrologic, and chemical environment in the emplacement
6 drifts depends on the properties of the host rock in which
7 the drifts are excavated. Because of that, we have
8 activities related to the preemplacement environment. First
9 off, we would have--a lot of these are going on during
10 construction. They would be taking place in all of the
11 emplacement drifts to confirm our host rock assumptions,
12 data, and analysis.

13 Mapping of fractures, faults, stratigraphic
14 contacts, and lithophysal characteristics are activities that
15 would occur. Hydrologic properties of significant fractures
16 and faults. And, if any of those activities required the
17 need to do some boreholes, those boreholes would not be
18 located above waste packages. We would insure that they were
19 off to the side or in alcoves. So, we wouldn't be boring any
20 boreholes above the waste packages.

21 And, chemistry and age of pore water using chloride
22 mass balance and isotope chemistry. Those are some more of
23 the activities related to this area.

24 Next slide, please. So, in looking at the surface
25 and the unsaturated zone above the repository, the activities

1 here are measuring for seepage into bulkheaded, low
2 temperature alcoves, thermal seepage into the unventilated,
3 thermally accelerated drifts that we described earlier,
4 thermal seepage into ventilated heated drifts. Those would
5 be the regular emplacement drifts. Also, precipitation
6 monitoring so that this would get at seepage data and the
7 inputs needed for that. Infiltration from rare high-
8 intensity and long-duration storms potentially like the ones
9 we had a few weeks ago. And then, also, seal performance.
10 That's when it's explicitly called out in the regulations
11 that we do seals testing.

12 Okay. Next slide, please. Now, in the unsaturated
13 zone below the repository, we have just a couple of
14 activities here. First would be monitoring for radionuclides
15 in deep bore holes that were near the repository footprint
16 and this gets at monitoring the unsaturated zone
17 characteristics. There's also in situ tests of--and in situ
18 tests of transport and sorption properties of the unsaturated
19 zone and this would be in a drift prior to emplacement.

20 Next slide, please. Heat added to the underground
21 facility by radionuclide decay will elevate temperatures for
22 long periods and so these have a direct impact on the
23 performance, as well. And so, coupled thermal processes is
24 another area where we have activities. There is a planned
25 thermal test in the lower lithophysal. This would take place

1 in the cross-drift in the ECRB. And, the primary objective
2 of this test would be to look at thermal and thermal-
3 mechanical processes. Secondary objective would be thermal-
4 hydrologic and thermal chemical processes.

5 In Drift 3, one of the thermally accelerated
6 drifts, that is one other one of the activities specifically
7 aimed at getting at coupled thermal processes. And so, in
8 that drift, we would look at near-field--we would have a
9 near-field focus here and we would use the observation drift
10 and the alcoves in terms of doing some testing and monitoring
11 there.

12 Drift 4 again has the emphasis on the in-drift
13 environment and that's the second of the thermally
14 accelerated drifts. That would be looking at the engineered
15 barrier environment focus and would be monitored by remote
16 operated vehicle.

17 Okay. Next slide, please. In the saturated zone,
18 we have a number of activities here. First would be
19 monitoring for radionuclides in deep boreholes downstream
20 from the footprint. And so, this again gets at monitoring
21 the unsaturated and saturated zone characteristics. Then,
22 also, the saturated zone chemistry and water levels. We
23 would also look at saturated zone colloids and laboratory
24 studies and then also saturated zone fault zone hydrology.
25 These would be deep borehole tests and looking at faults that

1 affect the flow paths and rates.

2 Next slide, please. And then, we also have--
3 lastly, we have cladding, waste form, and invert. These are
4 defined as barriers in our current project documentation, and
5 as such, we have activities related to those. For instance,
6 we would look at the radionuclide inventory in terms of what
7 information we can gain from waste acceptance documents to
8 confirm that we are actually putting in place what we
9 anticipated that we were going to be putting in place.
10 Sorption coefficients for waste form radionuclides. These
11 are laboratory tests. Then, also, we would monitor cladding
12 studies and these would be in terms of information from dry
13 storage facilities and from academic and industrial research.
14 Also, as far as the invert, we would measure the invert tuff
15 gravel sorption coefficients with laboratory tests.

16 Next slide, please. Now, by the very nature of the
17 decision analysis process, the different barriers that we
18 assess were weighted in terms of their importance to waste
19 isolation and because of that the number of activities in
20 each of those areas reflects the importance of those
21 particular topics to waste isolation. And so, you can see
22 that in the decision analysis process, it was determined that
23 waste package and drip shield were a significant contributor
24 to waste isolation and because of that they have a
25 correspondingly larger number of activities. Igneous

1 activity scenario class has also a great impact and so
2 because of that it has a correspondingly larger number of
3 activities. For areas such as the saturated zone or cladding
4 waste form and invert, those were determined to be less risk
5 and therefore needed fewer activities to address those.

6 Next slide. So, that covers the program that's
7 been developed to this point. What I've described, so far,
8 is all a part of what's being documented in Revision 2 of the
9 performance confirmation plan. So, what I'm going to then go
10 on and talk about now is where we're going from here and what
11 the future has for the performance confirmation program.

12 Next slide, please. So, the next step is Revision
13 3. Revision 3 is scheduled for spring of next year. In
14 that, we will expand certain areas. There will be expanded
15 definition of the activities that take place or that are in
16 the program. We'll establish the expected baseline for those
17 activities. And, in conjunction with that, we will also
18 establish allowable bounds and tolerances for parameters.
19 Basically, what this means is that we need to be able to
20 determine as we're making measurements, monitoring, testing,
21 things like that when things are what we expect them to be
22 and when we determine that they are significantly or
23 reasonably outside of the bounds of what they should be such
24 that it becomes something that would be of concern. So, we
25 need to establish those allowable bounds for the parameters.

1 The Revision 3 will also have increased information on the
2 management and administration of the program. It will
3 identify the needed test plans for the activities. And then,
4 also, it will define the--or in the document we will define
5 the processes for reporting variances to the NRC and we'll
6 describe the appropriate corrective action steps.

7 Next slide. Also, in this revision of the
8 document, there is some information on the performance
9 confirmation program clearly that has an impact on other
10 departments in the project and they need to be aware of
11 these. For instance, we need to communicate the design
12 requirements and further details on some of the testing
13 activities here. So, these would be things like the
14 accelerated drift tests and that includes the Drifts 3 and 4
15 that are accelerated drifts, as well as the thermal test in
16 the lower lithophysal unit. There will be design
17 requirements in further detail on things like instrumentation
18 and monitoring systems that we would have in the exhaust
19 mains, seepage and water collection systems, as well as
20 rockfall monitoring systems. So, this gets at coordinating
21 between areas of the project here.

22 Next slide. Okay. We understand that technology
23 changes over time and we know that we can benefit from
24 advances in technology in some of these areas. We're
25 certainly not going to put a system in place that isn't going

1 to be able to grow or that doesn't take advantage of the
2 current technology that's available. And so, in the
3 development of this program, so far, we have actually
4 incorporated certain areas where we expect that the
5 technology will become available within a reasonable time
6 that we can utilize it. And so, because of that, there are
7 certain activities that require feasibility evaluation in
8 terms of whether the technology has yet been developed and is
9 available and is ready for use. For instance--and this is
10 not to say though that any of these are completely off the
11 wall. I mean, it wasn't like, you know, anybody was sitting
12 around over a beer and saying, wow, it would be really wild
13 if we could do this. You know, these are things where we
14 already knew that these were--we were heading in the
15 direction of having this available to us. And so, these are
16 not unrealistic expectations.

17 For instance, for remote operated vehicle, we know
18 the technology is already in place for remote operated
19 vehicle. However, we are hoping that the available
20 technology advances to the point where we can have a reduced
21 dependence on infrastructure and greater versatility.
22 Radionuclide sensors with increased sensitivity. For
23 instance, we talked about measuring for radionuclides in the
24 exhaust mains. That's an area where we believe that the
25 technology is out there. There's a lot of nonproliferation

1 data that's out there, technology that we can tap into and
2 we're hoping that if it's not already available, it will soon
3 be available. Detecting seepage by humidity spikes; that's
4 something that we hope to be able to incorporate into the
5 program if it's available in the time frame that we need it.
6 Acoustic seismic tomography to look at rockfall or
7 engineered barrier system collapse. That's another area
8 where we could benefit from advances in those areas. Faster,
9 more effective mapping. There's always the possibility of
10 doing it in the tried and true sense, yet we hope that there
11 will be techniques available to us that will make this a more
12 efficient type of activity. Then, also, automated monitoring
13 of drift deformation, this is something that we can benefit
14 from, as well. There's always the standard methods, but
15 these are things that we're hoping to be able to improve on
16 as the time comes for us to implement various parts of this.
17 So, the performance confirmation staff is currently pursuing
18 each of these areas. And, although on the bottom, it says
19 some activities may be deleted and replaced as a result, I
20 think in a more realistic sense, it's more like they may need
21 to be modified a little bit, but I'm not sure that any would
22 actually have to be deleted.

23 Next slide. The implementation of the program, in
24 a sense it's already been implemented. There are ongoing
25 activities now and that have been going on in the past that

1 are a part of this program and over time, we will implement
2 the various different aspects of it in the time frames that
3 are appropriate for the various steps. This would be in
4 monitoring, testing, and collecting the data, analyzing and
5 evaluating the data, and then if significant variances arise,
6 we would take the appropriate corrective action steps.

7 Last slide. In summary--oh, that is my last slide.
8 Isn't that great--we used a multi-attribute utility analysis
9 as part of the decision analysis process in selecting the
10 activities for the program. In the first phase, we combined
11 technical judgments and performance assessment management
12 value judgments. In the second phase, we developed the
13 activities with their corresponding utilities into portfolios
14 and we evaluated those portfolios. Then, in the third phase,
15 these were reviewed by BSC senior management and modified as
16 appropriate. I presented them to you as categorized into
17 risk level groups such as the igneous activities, waste
18 package performance, and so on. As I mentioned before, in
19 the backup slides, there's a list of just the activities in
20 and of themselves, not grouped in any way.

21 Revision 3 of the performance confirmation plan is
22 scheduled for next spring and it will further develop the
23 performance confirmation program by developing more of the
24 detail and establish any information whereby we actually
25 implement the parts that have not already begun.

1 So, that's it and I'm sure you're very happy that's
2 over.

3 LATANISION: Deborah, thank you. I want to thank you
4 for a very comprehensive summary. Of course, the efficiency
5 with which you've gone through that means that we have more
6 time for questions which is terrific.

7 BARR: I can talk some more.

8 LATANISION: I thought that might be the case. I have
9 Dan and Mark and David and Thure. Dan?

10 BULLEN: Bullen, Board. Let me echo the comments of our
11 Chair. I think you did an excellent job of summarizing the
12 development of a program that's actually finally got some
13 meat on the bones or at least it looks like it's starting to
14 get some meat on the bones. I wanted to give you compliments
15 there. Now, I want to ask the tough questions and so I
16 compliment and now I'm going to apologize for the questions I
17 ask.

18 BULLEN: Initially, I'd like to know how does the PC
19 program interact with the design group in the planning
20 process? Specifically, you know, you talked about changes in
21 design that may have to be impacted by the--or may impact the
22 PC program. My example would be that the waste package is
23 continuing to evolve. We've gone from a solution of
24 (inaudible) outer surface to a laser peened surface and now
25 you're talking about putting meters on the inside. How do

1 you deal with the design people and how do you interact with
2 them?

3 BARR: Well, I think we've pretty successfully done that
4 to date in the sense that we have close interactions with the
5 various other parts of the project such as the design group
6 where as changes are made in these things, you know, we
7 assess the impacts on the performance confirmation program.
8 I'm not sure if this is really getting at your question, but
9 we share information and, as we become aware of changes in
10 the design that might impact the program, we plan to make the
11 changes that are needed.

12 BULLEN: Bullen, Board. That's the kind of give and
13 take that I was interested in. I wanted to know what kind of
14 communication you had and were you guys going on separate
15 parallel paths that have to meet at an end point X years down
16 the road for license application or actually for a license
17 amendment to close and, all of a sudden, I don't have the
18 information that I need. Which actually leads me to the next
19 question which is how does the performance confirmation plan
20 confirm assumptions? I mean, you need to confirm some of the
21 fundamental assumptions used in TSPA. And so, I guess, I
22 wonder how you get your arms around that 800 pound gorilla
23 that happens to be sitting in the room. So, you need to deal
24 with the people in TSPA, as well as design, in trying in
25 trying to confirm those fundamental assumptions. And, I kind

1 of want to see how that's developed throughout the entire
2 process and then how that feeds back into the final TSPA that
3 need be done for license amendment to close.

4 BARR: Okay.

5 BULLEN: The question is how do you deal with the
6 confirmation of assumptions?

7 BARR: Okay.

8 BULLEN: And so, your communication with the TSPA people
9 and the development of the PC plan to confirm those
10 assumptions?

11 BARR: Right. Well, whereas some of the activities that
12 are in this list here are intermediate steps--for instance,
13 measuring rainfall, you know, might be an intermediate step,
14 whereas ultimately your final parameter that you're getting
15 at is seepage into the drift--a lot of the activities are end
16 member, sort of, activities, for instance, monitoring for
17 seepage into the drift. And, in the process of developing
18 the models that get us to that point, there are certain
19 assumptions along the way. And, by looking at those end of
20 the line activities and confirming that they are indeed
21 behaving as we expected them to, I believe that that's
22 confirming the assumptions that are inherent in the process
23 models.

24 BULLEN: Bullen, Board. Just two quick more questions,
25 Mr. Chairman.

1 If we could turn to Slide 31, please? I'm kind of
2 interested in your temporal variations in the aggressive
3 environments and specifically I'm looking at something that I
4 think might be missing. Your temporal scaling of degradation
5 may be to derate the packages or to blow more air, as I see
6 that. The problem that I run into is we've learned
7 throughout the course of TSPA evaluation that the drip shield
8 is a very important aspect of performance. And, one of the
9 things that concerns me about the drip shield is not the drip
10 shield itself, but the stability of the invert and,
11 specifically, the stability of the metal support structures
12 in the invert that hold the drip shield in place to a nice
13 tight tolerance. And so, if those degrade, I'm interested in
14 the temporal acceleration, if you will, of the degradation
15 process of the invert. And so, I was a little bit concerned
16 when the invert didn't get the highest level in your last
17 slide. And so, specifically, with respect to radiolysis
18 effects which are called out here, but not radiolysis effects
19 on the waste package, but the formation of radiolysis
20 degradation products and their ensuing transport through the
21 invert and degradation of that iron. If someone raised that
22 issue which obviously hasn't been raised yet, how would you
23 see the performance confirmation plan addressing something
24 like that?

25 BARR: Okay. This is something I think I'm going to

1 have to defer to someone else. Jim, are you prepared to
2 answer that one?

3 BLINK: Jim Blink, Lawrence Livermore National Lab. We
4 have an activity on a different slide that looks at the drift
5 deformation and that same activity would also be looking at
6 invert deformation. The drift that doesn't have the
7 ventilation in it will cool down to below the boiling point
8 of water where carbon steel can corrode. So, we should see
9 some decades of corrosion on those beams during the pre-
10 operational period and be able to watch for that and the ROV
11 would go through the drifts.

12 BULLEN: Okay. Bullen, Board. Thank you. That's
13 exactly what I wanted to know, what had happened during the
14 time frame of operation before you decided to close.

15 Actually, one last quick question. How much would
16 you envision the PC program changing if you were looking at a
17 lower temperature repository design?

18 BARR: I think it would be smaller, you know. I think
19 it would be a little smaller, at least. We would probably
20 have less emphasis on the coupled processes type of
21 activities, but I'm not sure that conceptually it would
22 really change all that much, to tell you the truth.

23 BULLEN: Thank you.

24 LATANISION: Mark?

25 ABKOWITZ: Abkowitz, Board. I also want to join the

1 chorus of thanking you for such a comprehensive and efficient
2 presentation. It was a little painful for me because I was
3 one of the guinea pigs in the class on multi-attribute
4 utility analysis in the mid-'70s that Ralph Keeney talked.
5 So, it's a little bit of a shiver down my spine there while
6 you were presenting that.

7 In any event, I wanted to just ask you a couple of
8 basic questions here and then kind of a wrap-up question.
9 When this list was being put together and synthesized and
10 ranked, were there any technical experts outside of DOE and
11 its contractors that were involved in that process?

12 BARR: We had some--we invited some other organizations.
13 I know we invited EPRI. I'm not sure if we invited too many
14 other people. I think, it was predominately internal and--
15 yeah, I would say it was pretty much internal with a few
16 exceptions.

17 ABKOWITZ: So, it's accurate to say that at this point
18 the program was a reflection of internal priorities that have
19 been defined through this process?

20 BARR: I think by its nature of how it was developed,
21 yes. Yes.

22 ABKOWITZ: Okay. Are there plans to broaden the
23 exposure of this plan to others and genuinely accept their
24 feedback and modifying it as it goes forward?

25 BARR: Well, we've had that opportunity in the past and

1 we've benefited greatly from it. For instance, there was an
2 EPRI workshop that took place a few years ago, and in that,
3 we had some very good discussion. There was some very good
4 discussion of the program and what the goals of it would be.
5 Just a month or two ago, we met with the ACNW and had a
6 really great meeting, to tell you the truth. I just thought
7 it was an extremely positive and beneficial meeting to us
8 because we got some really good insights from the meeting
9 there. They had formulated a panel of people from external
10 areas and that panel, you know, listened to the presentations
11 pretty much a little bit more in detail than what I gave
12 today. We spent about a half a day basically talking about
13 what was in the program. And, they gave us a lot of really
14 good feedback. So, in that sense, I think that we have had
15 the opportunity to interact with other agencies and receive
16 their feedback.

17 ABKOWITZ: Abkowitz, Board. I also wanted to echo Dr.
18 Bullen's comments about the need to establish some formal
19 protocols for looping back between performance confirmation
20 and performance assessment and design and I see this as part
21 of an integrated feedback mechanism that needs to be, you
22 know, fundamentally connected to the decision processes that
23 are going on elsewhere.

24 Finally, I would like to turn to Slide #26. I
25 wanted to first make sure that we're on the same--we're using

1 the same terminology. I think of risk as kind of a
2 combination of likelihood and consequence. Is that the same
3 way that was being used on this slide?

4 BARR: Yes.

5 ABKOWITZ: Okay. And, I notice here that you have
6 implied that there's a rank ordering to these activity groups
7 and that the highest risk group is the first bullet and then
8 the second and then the third?

9 BARR: No, actually, I did modify that a bit by saying
10 that the biosphere did not necessarily represent the proper
11 order of risk in here. It was more in terms of convenience
12 for flow of information that the biosphere showed up--

13 ABKOWITZ: Okay. But, the disruptive scenario classes
14 are considered, you know, higher risk category than the
15 nominal scenario classes?

16 BARR: Yes.

17 ABKOWITZ: Okay. So, can we infer then that because
18 this has been primarily an internal process to date and that
19 the management and the technical staff have been engaged that
20 we can carry this forward as DOE's position that the highest
21 risk concerns that they have about the performance of the
22 repository are in the igneous and seismic activity areas?

23 BARR: I would say at this moment in time that would be
24 the case. However, there's a great deal of activity going on
25 in the these areas and that could conceivably change by

1 licensing in which case we would adapt to the current
2 information.

3 ABKOWITZ: And then, as a followon question, in the
4 nominal scenario class, can I infer that the waste package
5 and drip shield issue is of a greater risk concern than, say,
6 cladding or the saturated zone?

7 BARR: Yes.

8 ABKOWITZ: Okay. So, it's reasonable then to take this
9 forward as kind of my score card to measure TSPA activities
10 against in terms of where the emphasis needs to be placed at
11 this point in time?

12 SPEAKER: (Inaudible).

13 ABKOWITZ: No, but I'm talking about TSPA because that's
14 where the greatest risks have been identified, and therefore,
15 that's where the need to resolve uncertainty is the greatest?

16 BARR: Now, keep in mind that, you know, when I started,
17 I said that the decision analysis process was based upon
18 performance assessment. And so, the fact that these ended up
19 falling out the way they did is a reflection of the input
20 from TSPA.

21 ABKOWITZ: Right.

22 BARR: So, I would say that they're entirely consistent.

23 ABKOWITZ: Okay. So then, you've answered my question.

24 Thank you.

25 LATANISION: Dr. Duquette?

1 DUQUETTE: Duquette, Board. Since my colleagues are all
2 referring to choruses, I hope I'm not part of the Greek
3 chorus that usually signals tragedy.

4 I would like to go, of course, to Slide 31. That's
5 no surprise to anyone on the Board. We'll start with that.
6 I would argue that the third bullet where you say strengthen
7 extrapolation at 10,000 years doesn't have any validity
8 because I don't think you have any extrapolation currently
9 with 10,000 years. So, strengthening, I would disagree with.

10 Having looked at this slide, I'd like to go to
11 Slide 67, please. Now, no one in the audience is going to be
12 able to read that, but the lower left hand quadrant of that
13 slide indicates the activities that are going to be
14 undertaken to support the corrosion activities and stability
15 activities of the container in the drift. All, but one of
16 them, indicate that they're going to be based on laboratory
17 studies and I presume that that means that you don't
18 anticipate any internal monitoring during the operational
19 period or during the storage period of any possible corrosion
20 problems on the containers?

21 BARR: Let me see here. Didn't we have activities as
22 far as monitoring in the drifts though? I mean, mostly in
23 terms of just visual though. Let me see what we have here.

24 Jim? Thanks.

25 BLINK: Jim Blink, Lawrence Livermore National Lab. We

1 will have a combination of laboratory and field testing. The
2 field testing will have two components to it. One component
3 has to do with verifying the environment and exposing samples
4 directly in that environment and then recovering them and
5 taking them to the laboratory where we can do the more
6 detailed characterization. The other component of the field
7 testing is this pressure sensor idea wherein the pressure in
8 the waste packages between the Alloy 22 and the stainless
9 steel under normal conditions will be below the pressure in
10 the drift by a psi or two because of the cooling of the
11 packages after they leave the hot cell where they're sealed
12 and brought underground. They're actually warmer when
13 they're sealed than when they're underground. So, there will
14 be a difference in pressure between the drift ambient
15 pressure and the internal waste package pressure. So, the
16 sensing of the pressure integrity of the waste package is an
17 integral measurement of the waste package performance.

18 DUQUETTE: Thank you. Duquette, Board. One last
19 comment. Based on this laboratory testing which appears to
20 be mostly laboratory testing of laboratory scale samples--and
21 as many people know, this member of the Board and I think
22 some others are very concerned about the possibility of
23 crevice corrosion and the closure aspects of the current
24 closure design for the container as we've seen it. And, I
25 would urge if it's not in the performance confirmation, at

1 least, in the actual laboratory experiments, that a full
2 scale test be performed in an appropriate environment of the
3 container. All of us who are experimentalists know that
4 small scale laboratory tests often scale up to large scale
5 performance, but often they don't.

6 LATANISION: Latanision, Board. Just as a followup, it
7 would seem to me that in the interest of monitoring crevice
8 corrosion, for example, you could envision a potential drop
9 monitoring system would look for changes in resistivity as a
10 function of time. So, there may be a way of monitoring this.
11 I completely endorse your comment. I think it's very
12 important.

13 Let's go forward. Thure, you have the next
14 question.

15 CERLING: Yeah, Cerling, Board. I was just wondering
16 how you assure cross-talk between all of these groups that
17 are studying a lot of things that aren't related, but some
18 things, a small component of one will have an important
19 implication on some of the other. So, I was just wondering
20 how you're assuring cross-talk.

21 BARR: Uh-huh. Well, in that sense, you know, there are
22 a whole slough of interaction of integration meetings that
23 occur and I know I attend design and engineered barrier
24 system integration meetings where I bring my performance
25 confirmation hat with me, you know, when I'm there. Anything

1 that transpires there that could have an impact in that area,
2 you know, I would pass on and I'm sure that there's a number
3 of other integration meetings that occur in other areas, as
4 well. There's standing meetings we've got where basically
5 the idea is to integrate across the various areas.

6 LATANISION: Priscilla, you're next?

7 NELSON: Nelson, Board. Could you go to Slide 3? I'm
8 sorry, I might not have been paying rapt attention because it
9 was too early in the slide presentation. But, I look at this
10 and I see a lot of arrows. This is sort of a followup to
11 Thure's question. It seems to me that there's a way of
12 establishing maybe a higher level thinking to make sure that
13 things don't fall through the cracks between what is claimed
14 as part of performance confirmation, what is relegated to
15 engineering, testing, and evaluation or science and testing
16 and evaluation or the science and technology program.
17 There's a lot of remapping of--or revisions, removed items
18 that get pushed off into other areas. I'm afraid that--
19 afraid may be the right word, I don't know, but the sense of
20 interdependencies, the sense of complexity in response, is it
21 necessarily going to get appreciated by having everything
22 parsed out. So, I guess, what I'm thinking is where is the
23 high-level think about all of these different entities and I
24 see five entities up there that are dealing with some aspect
25 from now to closure investigations or monitoring, whether

1 it's internal or, in fact, like an external advisory group
2 that's actually thinking about this. So, can you comment on
3 that? What kind of overall high-level thinking is going to
4 comfort me on that?

5 BARR: Uh-huh, yeah. That's a very good question and
6 actually, you know, we've received it before. I would have
7 to say that the response is that some of these programs are
8 not yet developed in detail and that's something that will
9 occur over time at the appropriate intervals for them. When
10 we were doing the assessment of the performance confirmation
11 activities and they determined that a number of them were
12 better suited to other areas, in that case, we contacted the
13 appropriate individuals and said, hey, you know, these are
14 things that are potentially in your area. There's certainly
15 no requirement that they're going to have to put them in, but
16 we passed on that information to them. As far as a high
17 level description of, you know, how all these programs fit
18 together and what their interrelationships are and what their
19 differences are and everything, that it something that is
20 under development.

21 NELSON: Okay. I think this should be really good to
22 hear--were you going to say something?

23 ARTHUR: And, Deb, you're doing a great job. I hate to
24 interrupt, but I just wanted to talk to you bout some of your
25 thoughts and I'm just going through to reemphasize some of

1 Deborah's points, but there is a lot of integration. I was
2 in an update the other week. I was asking about remotely
3 going into the underground with technologists we have and
4 there is, as you're well aware, Deborah mentions good
5 technologies for entry into a high radiation environment, but
6 some of the design folks from Bechtel were there. We were
7 talking about, well, making sure you have the right room and
8 it's laid out. So, I think things are still evolving, as I
9 said yesterday. You know, the design, at least in support
10 for the construction authorization license will be about 25
11 to 30 percent complete in about, I think, it's April or May
12 of next year, the plan that Deborah talked, and it's still
13 evolving because at least one of the comments I sense from
14 ACNW is it felt that there was no--correct me if I'm wrong--
15 major issues. Whether there's probably a lot of things in
16 there, we should continue to look at what's going to be
17 really required as part of the license conditions. And, the
18 other point I'd say is remember when the license goes in,
19 it's going to have not just the design and all the pre-
20 closure, post-closure analysis and that, but a reference to,
21 you know, performance confirmation, how is it going to work?
22 And, I think, as we go into next year, it's going to be a
23 lot more details and integration, but it has to be design
24 TSPA and performance confirmation working hand-in-hand.
25 And, the last point I leave you with is that, you

1 know, having been in a few other regulatory environments of
2 NRC, what will happen, these will become conditions of a
3 license, and in time, I would assume and I don't know what
4 the frequency will be we'll have to do periodic--you know,
5 this plan will be carried out, and if there's an off-normal,
6 it will require immediate notification to the regulator with
7 what actions are we going to take and I would assume
8 something on a yearly basis that things turn out is your
9 plan. So, there's a lot coming together and I do agree and
10 we're still continuing to enhance all the integration.

11 NELSON: Thank you. You know, on a chart like this,
12 it's just going to beg it because there's balloons that
13 aren't connected and I just--if you establish the intention
14 to coordinate now and to have other ways--you're just going
15 to have tradeoffs and, you know, parsing things out and
16 missed opportunities and all sorts of things.

17 BARR: Right.

18 NELSON: It just--I, pardon me, just don't understand
19 why it's not there now.

20 Okay. Let me just ask you if there's been any case
21 where you've run across some aspect of performance
22 confirmation where the design is involving something that's
23 very difficult to confirm? You could imagine there would be
24 an opportunity for there to be another way of building
25 something where you could actually confirm performance; so, a

1 push back rather than a push at. That kind of an arrow out
2 of performance confirmation either to any one of these or to
3 actually design would be an interesting thing to see and to
4 see performance confirmation as a full partner in this
5 overall enterprise.

6 And, finally, there's just going to be a heck of a
7 lot of new technologies coming out in the next five or 10
8 years. So, I don't feel the need to go down and sort of
9 micro manage how you're going to make a while lot of
10 measurements today because I'm sure in three years or five
11 years the whole thing is changed.

12 BARR: Yeah.

13 NELSON: Great, it's good to hear.

14 BARR: Thank you.

15 LATANISION: Thure, did you have a followup to this?

16 CERLING: I had a followup to one of Dave's questions
17 actually.

18 LATANISION: Okay. Well, let's take that in turn and
19 we'll go to Mike Corradini.

20 CORRADINI: I wanted to do an analogy because I think
21 we're all kind of asking the same thing differently. So,
22 I'll try a different attack at it. So, let's take a nuclear
23 power plant. I'll pick many of them these days, pressurized
24 water reactor. They're operating and they--this is a story.
25 So, bear with me. And so, most of them in a pressurized

1 water reactor use a boron injection tank in case of accident.
2 And, historically, all of those were high temperature boric
3 acid--or, I should say, high concentration boric acid. It
4 was found by PRA analysis, the equivalent, I think, of the
5 TSPA, that from a monitoring and maintenance standpoint high
6 concentration boric acid was a maintenance nightmare and also
7 did not seem to gain anything from the standpoint of safety.
8 So, there was a discussion to change the design to go to low
9 concentration boric acid, to change the boric acid to
10 injection tank to something low temperature. The process by
11 which they went and did this and then asked for a licensing
12 amendment to do that is essentially what I think I'm hearing
13 here. So, I want to draw the analogy. The analogy is you're
14 in the pre-construction phase hoping to go to a construction
15 phase, hoping to go to an operation phase. The performance
16 confirmation process will evolve as you go through those
17 phases.

18 So, what I'm thinking of when I use my operational
19 example is I listened to all of this and I know you have to
20 do this. I have a hard time understanding it because it's
21 relatively high-level and broad. What I'm looking for and
22 I'm not expecting it now, but just to have you think about
23 it, is case studies where you show how you take something you
24 want to change and work it through the system with all the
25 individuals involved and the people involved and processes

1 such that a change is suggested, it is examined, we see the
2 risk effect of it through the TSPA, we decide yea or nay, and
3 then it flows back into the design. I think what I've been
4 hearing are all these questions. We've been beating at that
5 elephant in bunch of different ways. And, I think that's
6 kind of how I would characterize it. And, how you do that
7 now when you're going into the LA versus how you do it when
8 you're constructing versus how you do it when you're
9 operating will change, but that process will always remain.
10 And, I think it would be to the project's benefit to think
11 through how you do it and examples of how it has been done
12 and continues to be done as you evolve or else you'll miss
13 the fact that that's the continual circle you have to do with
14 an engineering project. Do you follow what I'm getting at?

15 BARR: Yes, I do. Yes.

16 CORRADINI: Okay. And so, I'm not asking for a response
17 as much as unless there's something that just pops up from
18 the current design process that automatically say, yeah, this
19 is how this change came about because it's that cycle which
20 has to be of high quality. I think that's what I think we
21 all have been getting at.

22 BLINK: I think I have such an example. Jim Blink from
23 Lawrence Livermore National Lab. We have several processes
24 that get at this. One of them is the IED process or the
25 interface exchange drawings and those are drawings that are

1 signed by the manager of performance assessment and
2 confirmation, Bob Andrews, and by the manager of repository
3 design who is now Larry Lucas. Those drawings specifically
4 cite the particular reference material that will be the
5 source of the need or the aspect from either--going in either
6 direction. So, that's our formal process.

7 In addition, our procedure AP-214 for
8 interdisciplinary reviews of products requires affected
9 disciplines to be formal reviewers when we make a change or
10 development again on either side. So, that's done both ways.
11 The designers were formal reviewers of the PC plan. We are
12 formal reviewers of their system description documents which
13 is their lowest level requirements document.

14 In addition to that, we have a senior staff member
15 who attends a weekly design integration meeting on our behalf
16 and the designers have project engineers, three of them for
17 the three different aspects of the design, that are a single
18 point of contact in each of their areas with the affected
19 disciplines including performance confirmation and
20 performance assessment.

21 Finally, there's a great deal of personal contact.
22 I reside in the same organization with Jerry McNeish who is
23 the manager of performance assessment. We both report to
24 Peter Swift. The design people are only one building over
25 and they reside in Nancy Williams' organization, the same

1 organization that Bob Andrews' performance assessment resides
2 in. We know each other, the individual leads. The lead for
3 the repository layout came to us when he was doing the layout
4 and said independent of your materials that are going through
5 preparation, what is your thinking right now? How will this
6 look three months from now when my document comes out? Will
7 I already be obsolete? So, in a sense, we're trying to be
8 ahead of the cycle it takes to make these things formal. I
9 think the integration is working pretty well.

10 Finally, I have to give my DOE counterpart credit.
11 In addition to that internal vectal integration, our DOE
12 counterparts, one of their key things is to help us
13 integrate. There's fewer of them. It's a smaller
14 organization. They talk to each other and kind of give us a
15 grade on how well we're integrating and give us direction and
16 feedback when they see cracks developing.

17 LATANISION: Thank you. Richard?

18 PARIZEK: Yeah, Parizek, Board. On this Figure 3, I
19 mean, I don't see a role, say, for Nye County or the State of
20 Nevada or other entities. Maybe they're in the area and say,
21 well, they don't have any responsibility nor response.

22 BARR: No, this wasn't intended to be comprehensive.

23 PARIZEK: But, they--there could be other circles added
24 to this?

25 BARR: Uh-huh. Oh, absolutely.

1 PARIZEK: Then, you mention that this would have to be a
2 flexible process in order to capture things as they go along.
3 That brings up, for instance, 58e on Slide 67. You have
4 activity monitoring, sampling, and laboratory testing of
5 microbial types and amounts on engineered surfaces as far as
6 viewing the corrosion related issues. Perhaps, yesterday,
7 you caught the discussion about the nitrates in the rock mass
8 that Bo Bodvarsson reported upon. That would have been his
9 Slide 22. The whole question there was that maybe that's
10 vulnerable to microbiological activity once you have
11 underground openings. You could attack that as an energy
12 source and, all of a sudden, not have the nitrate in the
13 interval. And, yet, that's kind of important to have those
14 ratios of nitrate to chloride right in order to minimize
15 package corrosion. And so, all of a sudden, here comes a
16 microbiological testing thing that's maybe different than
17 what was listed, but may be very valuable to make sure that
18 doesn't go away because of biological activity.

19 BARR: Uh-huh.

20 PARIZEK: So, I would say these are the add-on things
21 that need to be thought about by a program this dynamic in
22 looking at some of the variables.

23 BARR: Right.

24 PARIZEK: I was interested in the fact that you might
25 get the negative pressure inside of a waste package, but how

1 long, Jim Blink, would that last? What kind of a detection
2 device is that because that's--I guess, other people know
3 that this is doable. But, is that for 10,000 years because
4 it's like monitoring groundwater for 10,000 years waiting to
5 see if something failed.

6 BARR: Yeah, this a pretty neat area. I was real
7 excited when I heard about it. I'll let Jim talk to it since
8 he actually went up and visited the lab for this.

9 BLINK: Jim Blink. And, I have to give credit to Tom
10 Keats from the science and technology program. When he was
11 asking us were there any ideas that we had that if science
12 and technology worked them for several years and they
13 succeeded, could they come into the performance confirmation
14 program and give us that step forward, the technology
15 evolution over the next five years that Dr. Nelson talked
16 about.

17 In return, when we talked about some these ideas,
18 he already knew about some things and was receiving proposals
19 and put us onto a company called Vista Engineering that's
20 been supporting Hanford. And, they have taken the
21 conventional bourdon tube technology that's used in
22 barometers. That's a C-shaped closed tube, closed at one end
23 and open at the other. The open end is in the area where
24 you're measuring the pressure. The tube itself is surrounded
25 by a reference pressure. Imagine in our situation that

1 you've got a reference pressure of, say, 5 psi, you expose it
2 to the gap between the two packages which should be around 10
3 psi pressure and it will go up and down as the temperature
4 goes up and down because its density was set at the moment
5 that the package was closed. The temperature in the
6 environment at which it was closed will set that density.
7 The pressure in the drifts themselves is of the order of 12
8 psi due to the elevation at Yucca Mountain. They're open to
9 the atmosphere. The pressure inside the stainless steel
10 vessel is two bars of helium. So, if this gauge reads 5 psi
11 when we bring our magnet on the robot there and hold it up
12 against the package and look through the 2cm of Alloy 22,
13 then we know the gauge has failed. If the pressure is 10
14 psi, everything is working fine. If the pressure is 12 psi,
15 the outer barrier of the package has failed. Stress
16 corrosion cracking or crevice corrosion has caused it to have
17 a loss of pressure seal. And, finally, if it reads a bar and
18 a half or two bars, the stainless steel package has failed
19 and vented to the space in between. And, these gauges are
20 reasonable and costs have been produced in some quantity of
21 the order of 500 in nuclear grade stainless steel for the NCO
22 program at Hanford. We took a slab of Alloy 22, 2cm thick,
23 the right thickness, up to their location, put their gauge up
24 to it, and proved that it worked.

25 PARIZEK: How long though? I guess, the other part of

1 this you could test it when you brought the waste package to
2 the site, but then again do you leave it there and they can
3 go back and test this from time to time?

4 BLINK: Yeah--

5 PARIZEK: And, how do you gain access? Is it remotely--

6 BLINK: Right, the gauge--

7 PARIZEK: --gained information--

8 BLINK: The bourdon--

9 PARIZEK: Is it going to work for 2,000 years, 5,000
10 years, 10,000 years?

11 BLINK: The space that the bourdon tube gauge occupies
12 actually is smaller than the existing space and the design.
13 It fits. We went and talked with the design people before we
14 went up there to make sure that we knew what the geometry
15 was. The only moving part in this is the slightly flexing
16 bourdon tube and a permanent magnet that would rotate on the
17 top of it, no electronics. The reading device is a simple
18 compass which you just have to put against the registration
19 marks on the outside of the package and it looks through the
20 package. So, this is a system that has no electronics. It
21 looks like that the magnet that they've chosen to use is
22 radiation resistant based on its use in accelerator
23 facilities. We need to do some followup because our
24 radiation is steady and not pulsed. But, everything that we
25 saw up there makes it look feasible and the amount of

1 followup work that we have to do to verify that is pretty
2 small.

3 PARIZEK: I'm just interested because the idea like at
4 WIPP, there was a pressure drive concern, a resaturation
5 issue, but the question, there's no way to monitor anything
6 without damaging this all, but, you know, that's another
7 issue. But, since these remote devices, methods are in the
8 thought process and so there's new technology coming on, it's
9 exciting to hear this is an option.

10 There's another one on this 180a activity. This is
11 drilling out the aromatic anomalies is a way to cite, you
12 know, the number of places that maybe have volcanic centers.
13 This is a value added comment I'd shared with you
14 previously. During the drilling to see if, in fact, it is
15 volcanic, there is this opportunity to capture additional
16 stratigraphy to be able to complete a borehole for
17 hydrological observations and testing, for chemical
18 information over and beyond just the intention of deciding
19 whether it's volcanic or not volcanic. So, I really would
20 stress to the program to not in the haste to get on with the
21 aromatic question ignore the other sampling that can be done
22 for very little additional money to the program and whether,
23 say, like Nye County then completed it as a well for their
24 program if it's in their county and so on. It's really value
25 added stuff that needs to be given thought to this process.

1 Then, I also talked about the question that if, in
2 fact, there are more centers and now you're at the point of,
3 well, the risks from seismic activity which is a high
4 probability concern and there was also volcanism, perhaps
5 then you have to go to backfill as a solution to those two
6 problems. Then, backfill right away creates an interaction
7 process of the engineered environment and it's different than
8 when you started out without backfill. So, the idea of
9 making sure that the confirmation testing program is flexible
10 enough to add on these things as you go along because this
11 interactive process may not be captioned in the present list
12 of activities you've identified.

13 BARR: Okay.

14 PARIZEK: Thank you.

15 CHRISTENSEN: Christensen, Board. Maybe at the risk of
16 repeating a little bit that's been said and maybe at the hope
17 of putting a minor point on comments I've heard from my
18 colleagues and some thoughts that reminded me of a little bit
19 of history, I think it was three years ago that Russ Dyer
20 made a presentation to this Board and we had a panel
21 discussion on the topic of sort of the evolution of the
22 program and the notion of adaptive management. And, I think
23 a lot of really interesting ideas came from that and I really
24 feel to some extent this program begins to in a very specific
25 and substantive way puts some real meat on that discussion.

1 And, what I see developing is sort of part of an overall and
2 truly meaningful adaptive management program. Here is what I
3 would call the dashboard and it's obviously a complicated
4 dashboard. It's got more than just a few dials on it and I
5 have to say I like the way in which the priorities have been
6 thought through in terms of which dials are most important
7 and how they're situated. It does strike me though that the
8 --and this was a part of the discussion some time ago--that
9 an overall adaptive managed program would truly--would have
10 to do with the integration of this dashboard in a more
11 institutional fashion into the overall program. And, I think
12 it goes beyond just simply the physical proximity of people
13 and their ability to talk over coffee, but, in fact, a much
14 more formalized relationship in which what is learned here
15 and the connections directly influence these other various
16 pieces and I think my colleagues have spoken to that. And, I
17 hear that we're moving toward that, but I think that that's
18 really important.

19 A third element that's come up in a couple of
20 places that really has to do with, I think, one of the
21 greatest challenges in implementing an adaptive management
22 program in the context of uncertainty is from a variety of
23 constituencies and clearly the NRC is chief among those at
24 those moment, but it's certainly not the only one. And, I
25 think I would echo maybe Richard's point about involvement of

1 constituencies who are chief stakeholders and at some sense
2 or other need to in the future have confidence that this
3 process of learning as we go, in fact, is really effective.
4 I would only add that the credibility of that depends also in
5 addition to some sort of independent external review and
6 certainly I agree that EPRI, for example, is one of those
7 stakeholders that needs to be involved, but does not
8 represent the sort of external review that I think really
9 would provide to all stakeholders the kind of credibility.

10 So, I say all this simply to say that I think I see
11 the elements of this developing. I think this needs to be
12 integrated in that more formal way and I hope that we can
13 follow the course of this over the--in future meetings.

14 BARR: Thank you.

15 LATANISION: Thure, I think you have the last question.

16 CERLING: Yeah, I just had one. Dave Duquette nicely
17 pointed out on Page 67 and all along we hear all about the
18 problems and the corrosion issues with Alloy 22 and Titanium
19 Grade 7 and there's a lot of other components that are
20 involved including some of the robotics and things that you
21 expect to last for a long time. So, I was just really
22 wondering where the corrosion issues related to those? Are
23 they being treated with the same concern and attention that
24 Alloy 22 and Titanium 7 are?

25 BARR: I'm not sure I captured the first part in there.

1 CERLING: Well, there's a lot of other components that
2 are involved in the emplacement of the waste package and the
3 time in between that packages are emplaced and the titanium
4 shields are in place and I don't think all of those are Alloy
5 22 or titanium. So, I was just wondering about where that
6 fits into the performance confirmation activities of those
7 elements including the robotics that you want to send in to
8 look at the thing. They also presumably would be subject to
9 corrosion.

10 BARR: Yeah. Well, clearly, you know, it wouldn't be
11 that hard of a task to maintain the robotics that would come
12 and go, you know, in the drifts. That's something we do have
13 more ready access to. As far as other materials though are
14 concerned, I think we did mention in some of the testing
15 areas that there would be assessments of the ground support,
16 drift shape, things like that, all those things that get
17 directly at the ground support issues. So, I feel like we've
18 captured those, as well, unless there's something that I'm
19 not thinking of that you're asking about.

20 LATANISION: I want to correct myself. There is one
21 last question. Paul?

22 BARR: Well, did I answer your question, at all, or

23 CERLING: Yeah, I just want to make sure that that also
24 was in the performance confirmation activities.

25 BARR: Okay.

1 CRAIG: Paul Craig, Board. Deborah, that was a
2 fascinating presentation. I really do like the use of the
3 methodology. And, what I'd like to ask you about is what is
4 the process--maybe it doesn't fit into the performance
5 confirmation methodology or the followon, but what is the
6 process if you begin to find a problem, if one of these
7 little manometers actually shows that there's a problem? You
8 need to have a procedure for pulling out the canister or
9 deciding not to pull it out. Does that fit within
10 performance confirmation or is that a different category?

11 BARR: Absolutely. No, that does fit within it.
12 Performance confirmation isn't just about identifying, you
13 know, the potential problems. It's about the followon
14 actions. It's the first--what I've described here is just
15 the very first step of what we're going to measure and how
16 we're going to measure it. As we develop Revision 3 for next
17 spring, we will start to develop the kind of detail that
18 you're talking about. We talked about how we need to
19 establish the baseline for all of the parameters that we're
20 talking about measuring and the activities. Then, we need to
21 establish the tolerance levels or the bounds around them
22 which if they were to go outside of, it would become a
23 reportable condition to the NRC. However, it goes even
24 beyond that because it's the responsibility of the
25 performance confirmation area to then assess those areas, not

1 even necessarily wait until it goes outside of the bounds,
2 but if it looks like it's headed in a direction that's going
3 to take it outside of the bounds established as a part of our
4 license application, we would then--that would then trigger
5 and investigation as far as an assessment of what it is
6 that's happening. Is it because, you know, of something
7 that's fundamentally flawed in our understanding of a
8 particular process or is it, you know--the idea is to find
9 out what the cause is and then to take action on that. Is it
10 something where we just need refine our process models
11 because there was something that we had not adequately
12 captured before? Is it something where we need to maybe be--
13 in the preplacement period, it may very well trigger some
14 change in design as was talked about earlier. That would be
15 a step that was potentially there. And then, of course, the
16 absolute end member, worst case scenario, is retrieval. It's
17 performance confirmation that would give us the information
18 that would let us know whether that actually had to be an
19 option or not. And, of course, all of this would be done in
20 close coordination with the NRC.

21 So, by no means is this just an effort at
22 identifying problem areas. We will refine further over time
23 and in preparation for the license application the mechanisms
24 and the processes that are triggered as a result of things
25 occurring deviating from the expectations that we have.

1 LATANISION: Deborah, I want to thank you and also thank
2 Jim and John for the comments during this discussion. You
3 know, you have the distinction, at least in my history as a
4 Board member, of fielding a question from every member of the
5 Board.

6 BARR: Oh, wow.

7 LATANISION: It's a distinction. Thank you very much.
8 This was an extremely helpful conversation.

9 BARR: Thank you.

10 LATANISION: We will adjourn for 15 minutes.

11 (Whereupon, a brief recess was taken.)

12 LATANISION: We need a little bit of quiet. Thank you.

13 We're going to next have an update on the igneous
14 program. Peter Swift is our speaker. Peter is responsible
15 for development and performance assessment strategy and for
16 defining and supporting technical analysis of the BSC
17 performance assessment project. His previous
18 responsibilities within the Yucca Mountain total systems
19 performance assessment include serving as lead man analyst
20 for igneous consequence modeling and lead analyst for
21 identification and screening of features, events, and
22 processes to be included in the performance assessment. In
23 addition, his experience includes performance assessment work
24 for the WIPP plant and he was the lead author of the 1996
25 compliance certification applications to the U.S.

1 Environmental Protection Agency.

2 Peter, welcome back.

3 SWIFT: Thank you. I'm here making this presentation on
4 behalf of quite a lot of other people, some of whom are in
5 the room, many of whom are not. I am the manager of
6 something called performance assessment strategy and scope.
7 This is a group of the project that reports to Bob Andrews
8 that I'm responsible for the team that signs and implements
9 the total system performance assessment. I'm also
10 responsible for Jim Blink's team that produced the
11 performance confirmation plan with Debbie Barr. I'm not
12 responsible for the modeling of igneous activity or the
13 technical basis for it. That's in a group that a man named
14 Jerry King--is Jerry here? No, Jerry King is not here. He's
15 the manager of the disruptive events sub-project that works
16 on both igneous activity and seismic activity. And, within
17 Jerry King's group, Mike Kline who is here. Mike--oh, there
18 he is back there--is the manager of the igneous department.
19 Most of the technical expertise here is at Los Alamos
20 National Laboratory. Frank Perry is the technical lead for
21 that, Don Krear (phonetic) at Gafney (phonetic), Chuck
22 Harrington, and others, and also Eric Smistad from the
23 Department of Energy if Eric is here somewhere. So, I will
24 be referring questions to Mike Kline or Eric Smistad or
25 perhaps Ed Gafney as they come up. I'll answer ones I'm

1 familiar with myself.

2 I'm giving the talk because I do have a lasting
3 interest in this from having worked on it as a TSPA analyst a
4 few years ago and because it's important to put this in the
5 context of the overall performance assessment, what it means
6 to activity in that context.

7 Can I have the next slide, please? All right.
8 What I want to talk about here, I want to start out with just
9 a summary of what the igneous scenario looks like from a TSPA
10 point of view and I'll include a little summary of the
11 existing total dose results that we have from a few years
12 ago. Then, I want to talk about the events of the last few
13 years that have shaped--the last two years have shaped where
14 our igneous program is going, in particular. Agreements have
15 been made between the NRC staff and the DOE that are listed
16 there. I'm not going to read those now. I'm going to come
17 to those in some detail later. The recommendations that came
18 from an external igneous consequences peer review panel the
19 DOE convened. And, I want to talk very briefly about the
20 observations from this Board and its consultants, in
21 particular the consultants who provided information to this
22 Board for over a year now--two years now. The Board itself
23 had suggestions, observations, and a letter in June to Dr.
24 Chu. I'll talk a little bit about the DOE responses here and
25 path forward taking into account all three of these things

1 I'm going to talk about. And then, I'll close with a little
2 discussion of where we are now and what the status of the
3 model that is going to go forward for license application is.

4 Can I have the next slide, please? Just a review
5 of--this should be familiar, old stuff, but I like to start
6 out with why we have an igneous disruption or a volcanism
7 scenario in the TSPA. It's because there, in fact, are
8 volcanos in the region. Here's Yucca Mountain and the
9 proposed repository here. The volcanic cones out in Crater
10 Flat that are probably visible, those are quaternary cones
11 shown in Crater Flat. They're about a million years old.
12 There's some older pliocene, buried basalt, and exposed
13 basalts--those are exposed--that are about 3.7 million years
14 old. And then, there's the most recent volcano, the Lathrop
15 Wells Cone, roughly 77,000 years old. And, because these
16 volcanos are here, we must consider the possibility they can
17 reoccur in the future.

18 Next slide, please? Just a view, this is from the
19 north looking at the Lathrop Wells Cone. We would be
20 somewhere out of the field of view off here to the right and
21 some 20 miles away probably where we stand now. These are
22 not massive volcanos. That's about roughly about 140 meters
23 from there to there. This view from the north shows some
24 lava flows off the side of the cone. There also makes a nice
25 view of it. Although the cones are relatively small, they

1 can produce ash clouds, ash plumes that cover a fairly
2 sizeable area. This is an estimate of the initial ash
3 deposition from the Lathrop Wells eruption 77,000 years ago.

4 Two things to note here. One is the scale is in
5 centimeters and this outer ring is the one centimeter ring.
6 You can't possibly read it up there, but you can see it in
7 your handout. And, we're in over a meter in here in the
8 center. The other thing you notice is that the control
9 points are pretty sparse. That one centimeter is--there's a
10 control point out there on it. There's good control in close
11 in this area here where you can obviously have fairly good
12 exposure.

13 To put this in perspective, the dimensions of this
14 plume here are on the order of 20 kilometers. That would be
15 consistent with the idea that an eruption, should one occur
16 at Yucca Mountain, would produce an ash layer of some unknown
17 thickness, but perhaps on the order of a centimeter out at
18 the location of the RMEI, the reasonably maximally exposed
19 individual, prescribed by the regulation. Note here on the
20 source of this figure here, that document is not yet
21 released. So, this is indeed a draft figure and doesn't say
22 so on it. Thank you.

23 What this area looks like in TSPA, there are two
24 pathways that we're interested in leading to a potential
25 dose. The scenario begins, say, with a dike that rises up

1 from great depth in the crust and rises relatively quickly.
2 It's shown here as if it reached the level of the repository
3 and then stopped. That was not actually how the processes
4 could work, but it's convenient for the purposes of the
5 cartoon. In the real world, the dike would raise fairly
6 close to the surface, the first eruption might be a fissure
7 eruption which is then localized into a single conduit and
8 produce a cone, then buried the initial fissure. Parts of
9 the dike away from the conduit would chill and an eruption
10 would then actually form a conduit that moved downwards from
11 that point on the surface and allow the dike around it to
12 freeze. But, the point at which it dipped which a conduit
13 would eventually extend would very likely reach the
14 repository horizon. So, it's convenient to show here as if a
15 dike could reach the repository and a conduit could extend
16 from the repository on up.

17 The two pathways of interest, the actual erupted
18 cloud which could entrain waste from damaged packages and
19 produce a layer of contaminated ash on the surface could
20 produce an exposure out here of a human. The other pathway
21 of interest is packages within the drifts that could be
22 damaged by magma, but not erupted. These would be packages
23 that were intersected by magma that flowed down the drift
24 away from the point of intrusion. We do not believe these
25 packages would be erupted to the surface, more on that later,

1 however, we do believe they would be damaged, and therefore,
2 they would leak and it would contribute radionuclides to a
3 groundwater source term that migrated down and then out
4 through the saturated zone to a pumping well and to a
5 potential human dose that way. So, two pathways, the
6 eruptive and the groundwater--the intrusive groundwater.

7 Next, thank you. Those two pathways show up again
8 here. These are calculated dose estimates from a couple of
9 years ago. This is not new information. You've seen these.
10 You haven't seen this exact figure before, but you've seen
11 the results that led to it. The first thing to know is that
12 these are probability-weighted means and I was not planning
13 to work through how we construct a probability-weighted dose
14 from the conditional dose if the event were actually to occur
15 in any specified time. I've done that before. If there are
16 questions, I can go through it again, but there are two
17 slides in the backups in the very back that explain how we
18 did that. So, these are probability-weighted.

19 Now, there are three curves shown here. The blue
20 curve is that dose from the eruptive ash plume. The red
21 curve is a groundwater dose from those damaged packages that
22 remain in the drift. The black curve just shown there for
23 comparison purposes was the nominal dose that we were showing
24 two years ago at the time of the site recommendation. That's
25 the dose that you get from the failure of a small number of

1 packages due to early weld failures.

2 Now, what do we see here? For the first 10,000
3 years, the regulatory period, we're interested in that
4 eruptive dose. That's the largest single contributor to the
5 total probability-weighted dose that the NRC will compare to
6 the standard. The standard, by the way, is up here
7 somewhere. We're well-below it there, 15 mrem. By about
8 20,000 years, that groundwater term two years ago, the
9 groundwater term from damaged packages that stayed in the
10 drifts, began to exceed the eruptive dose. And, in about
11 80,000 years, the nominal dose, we started to see it's giving
12 numbers of waste package failures in that model, and the
13 nominal dose then became the dominant dose for the remainder
14 of the simulation.

15 Other points here to note, these are calculated
16 with a mean annual probability of igneous intrusion of
17 1.6×10^{-8} , 1.6, you know, in 100 million. It's a small annual
18 probability. That is based on the probabilistic volcanic
19 hazard assessment the expert panel done in the mid-1990s.

20 And, the last point, a little disclaimer here. The
21 model analyses will be updated for license application.
22 These curves are shown here as a reference point for where we
23 were two years ago.

24 Next slide, please? I just want to reiterate that
25 those were mean doses and we acknowledge there is uncertainty

1 in that mean. I show here the example of the uncertainty in
2 only one of those curves. That's the groundwater curve. The
3 red curve here--that's the mean in that groundwater component
4 of igneous dose--should be identical to the groundwater curve
5 on the previous page. I hope it is. That curve was drawn
6 from 5,000 realizations of the model. We only show 500 here.
7 Otherwise, we just turn gray. We show the mean with a 95th
8 percentile, that's the black; a median, 50th percentile; and
9 the 5th percentile just barely making it on the figure. Each
10 one of those curves is a possible outcome of the model.
11 That's the nature of Monte Carlo modeling. The way the
12 sampling works, each one of them could be at appropriate
13 sampling of the input parameters. We do a sufficient number
14 of samples so that the mean stabilizes.

15 Next slide, please? Now, what contributes to the
16 uncertainty in that igneous dose in the past? This is a very
17 short review of things. The probability of the event, that's
18 a big one. For the eruptive dose, the wind speed and
19 uncertainty in the wind speed matters. The number of the
20 waste packages intersected. This determines basically how
21 much waste is entrained in that ash cloud. The
22 characteristics of the eruption itself, the conduit diameter,
23 the erupted volume, the particle size, these affect the
24 amount of waste along with the wind speed--the affecting
25 amount of waste that reaches a 20 kilometer compliance point

1 of how thick the ashfall is there. The biosphere dose
2 conversion factors, primarily the term for inhalation, from
3 the erupted dose, the major pathway of concern is inhalation.

4 Now, for the groundwater pathway from the igneous
5 intrusion, the flow of magma down the drift, again the event
6 probability, number of packages damaged, and all the
7 uncertainty inherent in our groundwater flow and transport
8 model from the unsaturated zone through to the saturated
9 zone.

10 All right. That's it for review of the TSPA
11 scenario. I want to move now to the interactions with the
12 NRC and the peer panel and the observations of the Board.

13 Next slide, please? Over the last two or three
14 years, the DOE and the NRC have made a number of agreements
15 with respect to--these are the KTI, key technical issue,
16 agreement items we've heard so much about in the last two
17 days. There are a number of them that are relevant to the
18 igneous scenario. I have chosen here to group them into four
19 major areas. There are many more than four and there are
20 quite a few narrowly focused agreements that don't map into
21 these areas. But, these are the four areas of agreements
22 that have a (inaudible) effect on what it is we're doing
23 right now. I also want to point out that the statements here
24 are not necessarily statements of what our program is
25 actually doing right now. These are statements of what the

1 agreement said at the time it was written and there will be
2 some examples here where what we are doing now, we believe,
3 meets the intent of that agreement, but it won't look much
4 like that.

5 Alternative models for consequences of igneous
6 disruption. In particular here, this is the NRC's concern,
7 it's the Center in San Antonio's concern, about the dog-leg
8 eruption pathway. That's a good example of it. But, in
9 general, the interactions of the magma with the drift and the
10 formation of a conduit onto the surface. DOE has agreed that
11 they will evaluate possible alternative models.

12 Event probability, the DOE has agreed they will
13 further evaluate the impact of possible buried volcanic
14 centers on event probability. These are centers that were
15 not detected because they were buried of buried volcanos out
16 here in the north part of this Valley that had they been
17 known of in the mid-1990s when the expert panel did its work,
18 it might have changed that probability estimate.

19 The effects of magma on engineered materials, the
20 NRC raised the concern that the treatment that we used in the
21 site recommendation modeling did not adequately account for
22 the possibility that waste package and other engineered
23 materials would be damaged by heat, corrosive action of
24 gases, and perhaps we were being overly optimistic in our
25 extent of damage to waste packages.

1 And then, this issue of the redistribution of
2 contaminated ash and sediment. If the wind is blowing such
3 that the contaminated ash plume falls upstream in the
4 Fortymile Wash drainage from the compliance point, it is
5 reasonable, the NRC has pointed out, to assume that some that
6 contaminated ash will eventually find its way down the
7 drainage and reach the exposure point. And, yes, DOE agreed
8 we will evaluate the effects of that surface redistribution
9 processes.

10 Next slide, please? The Igneous Consequences Peer
11 Review Panel, in the last year, as this Board is clearly
12 well-aware of, the DOE has convened and conducted an Igneous
13 Consequences Peer Review. This is an external group that was
14 tasked with addressing specific issues weighted to the
15 consequences, not the probability, but the consequences of
16 igneous event intersecting the repository. They issued a
17 report in February and the report is available. It's on the
18 web, among other places. A very simple summary here of their
19 main points. The first point taken right out of, I think,
20 it's Chapter 5--it's the conclusions chapter of the report--
21 the overall conceptual model is both adequate and reasonable.
22 Indeed, we've heard it. The panel recognized limitations of
23 scientific understanding and current modeling capabilities
24 particularly with respect to the damage of waste packages in
25 the drifts and to the effects of pyroclastic flow past waste

1 packages in eruptive conduit. In other words, with this
2 adequate and reasonable statement comes the acknowledgement
3 that these are tough problems.

4 Next slide, please? Notwithstanding either, here
5 come the recommendations and what to do from the panel.
6 Future modeling should focus on developing a 3-D model for
7 dike propagation, dike/drift interaction, and attempt to
8 quantify the dog-leg scenario. This more sophisticated model
9 should address gas/vapor evolution in the magma, the
10 gas/vapor cavity length behind the dike tip as the dike is--a
11 dike is propagating, opening a crack through the rock. It's
12 going to open a small void behind the tip which we fill with
13 gas in the vapor phase before the magma comes in and what is
14 the nature of that dike tip. Coupled models for the unsteady
15 flow of the dike into the drift. And, make sure the models
16 include the effects of gas pressure loss through the
17 permeability of the host rock. I'm not going to try to
18 explain here yet what the DOE is doing with respect to either
19 these recommendations or the NRC agreements they just got to.

20 And, the panel noted that the approach taken in the
21 PVHA of heavily weighting the most recent volcanic events in
22 determining event probability is a reasonable one, but the
23 panel recommended that additional age dating should be
24 performed to further confirm that estimate.

25 Next, please? The panel recommended considering

1 design modifications to minimize impacts of igneous events.
2 And, the panel recommended further work to reduce
3 uncertainties. Specifically, laboratory experiments on the
4 evolution of a decompressing magma. They have ugly magma,
5 magma that has high volatile content in it. It expands into
6 a gas filled cavity. They're asking here for experimental
7 work on that and analog materials. And, experimental work on
8 the chemical and mechanical effects of magma on waste
9 packages. And, the panel also recommended comparing
10 ASHPLUME--that's the computational model used to simulate the
11 ash plume--comparing those predictions to other computer
12 models, basically benchmarking tests.

13 Next, please? And, observations from this Board.
14 First, consultants to this Board--I don't know if any of them
15 are here today; I hope they are--provided observations both
16 before--to the Board, not directly to the DOE, but to the
17 Board, both before and after the peer panel was convened.
18 And, prior to the peer panel, here are some recommendations
19 from the consultants. The first one was convene an expert
20 peer panel. That's good, expert review panel. Here's a case
21 where we'll just say what the DOE did. It's obvious the DOE
22 convened one. Another recommendation, develop more robust
23 and realistic models of dike/drift interactions. This
24 coincides with the recommendation of the peer panel and
25 reconsider the conservatism of damage to waste packages and

1 waste form.

2 Next slide, please? I apologize for all the words
3 here, but it's hard to have pictures of future volcanic
4 events. The observations from the Board would be in their
5 June letter and these are my paraphrases of what's in the
6 June letter. I assume someone will tell me if I got it
7 wrong. The Board noted that the panel's work was independent
8 and of high technical quality. We note that. The Board had
9 recommendations that the DOE emphasize updated models of
10 dike/drift interactions including the effects of compressible
11 magma. This would be a magma that had a high volatile
12 content or a transition to a pyroclastic magma. Further
13 evaluate the effects of magma on waste packages and waste
14 form. This reiterates and restates the consultants'
15 recommendation to reconsider the conservatism. This,
16 however, is a neutral statement, just evaluate those effects
17 again. And, a recommendation here to evaluate the effects of
18 the aeromagnetic anomalies. These are the anomalies that may
19 indicate undetected buried basalts. Evaluate those anomalies
20 with drilling and dating programs. Thank you.

21 All right. So, here's the path forward and I think
22 this is where the most interest is going to be. Well, what
23 is the DOE going to do here? First of all, the primary
24 emphasis of what we're taking forward to LA will be to
25 address the NRC agreements and to develop and appropriate

1 abstraction for TSPA. We acknowledge certainly the
2 observations the panel and the Board. The primary target for
3 the LA is to meet the NRC's expectations to address those
4 agreements. And, you'll see how that plays out here. DOE
5 agrees with the panel that the overall conceptual model is
6 adequate and reasonable. We thought so at the time of the
7 site recommendation. The model will be revised for the LA
8 taking into account recommendations from the panel and from
9 the Board, but we will be considering the importance of those
10 recommendations to risk. The risk here, as I use it, yes, it
11 is the total probability-weighted dose. Which of these
12 things have a potential to change that? In particular, which
13 of these things have a potential to make it go up? There are
14 some examples here where we're going to--as you see, we're
15 going to stay conservative. We're not going to try to lower
16 that curve because we don't see--immediately anyway, we don't
17 see a path forward that will get us there any time soon.

18 And, specific recommendations here, enhanced
19 modeling of dike/drift interactions. The DOE's position here
20 is that recently completed modeling is sufficient to support
21 submittal of a license application. Specifically, that the
22 dog-leg eruption is not plausible. And, I realize there's an
23 addition here that needs to be clarified. It is not
24 plausible for the effusive low volatile magmas, the lavas
25 that we've modeled now. We are evaluating the need for

1 further work to look at compressible magmas.

2 Next slide, please? Design alternatives, in
3 general, the DOE is not undertaking large scale design
4 alternatives now prior to submitting the LA, as someone
5 mentioned otherwise earlier. If such turn out to be
6 desirable, that will be addressed through amendments to a
7 license should one be obtained. However, there is one
8 specific example that's in progress now. The project is
9 evaluating possible modifications to the backfill in the
10 access mains. The current design does call for backfill in
11 access mains and we're looking at possible modifications that
12 increase confidence in the conclusion that magma will not
13 flow from one drift to another through that backfill.

14 Laboratory studies of waste package and waste form
15 behavior in magma are not currently planned. In this regard,
16 the TSPA-LA model will remain conservative. This is a large
17 piece of work which is not being done in the next year.
18 however, the outcome of that, I think, will convince you is
19 surely conservative.

20 The ASHPLUME validation has been undertaken by
21 additional natural analog comparisons rather than by
22 benchmarking these other codes. We actually found that not
23 such an easy thing to do. However, we have produced analog
24 comparisons now with the Lathrop Wells Cone and with a cone
25 in the (inaudible) volcanic field, I believe.

1 And, the largest piece of new work we are
2 undertaking, new aeromagnetic and drilling data will be
3 obtained and the impacts on event probability will be
4 evaluated. I'm going to talk a little bit about that one
5 right now.

6 Next? This is not my field, at all. So, I field
7 what questions I can, but it won't be very many. This is
8 just a representative map of those who haven't seen what a
9 aeromagnetic survey map looks like and why it shows anomalies
10 that may turn out to be very volcanic centers. The
11 repository is up in here. This is the Crater Flat area here,
12 Jackass Flats over here, the Amargosa Valley down here
13 basically showing the strength and the local magnetic field.
14 Volcanic centers in Crater Flat show up nicely on this. As
15 you get further east into the Yucca Mountain Solitario Canyon
16 area, the signal is complicated. It's hard to interpret.
17 And, that's the nature of the complex local geology.
18 However, out in the Amargosa Valley, it's pretty easy to
19 interpret where anomalies are. They've already been circled
20 here with--you know, noted as anomalies. Some are noted as
21 targets for future drilling.

22 Next slide, please? The 1996 PVHA did acknowledge
23 the possibility of undetected buried centers and there were
24 eight anomalies that were known then that were considered to
25 be possible volcanos. So, it's not appropriate to think that

1 the PVHA was unaware of this issue. They certainly took
2 seriously the idea that there were more volcanos than what
3 you could see out there. In 2002, some modeling analyses,
4 sensitivity analyses considered 20 and 24 buried anomalies,
5 the one shown on the previous page, as if they were all
6 possible volcanos and then used the PVHA experts own
7 individual models to recalculate the event probability. If
8 all 24 additional anomalies are additional volcanic centers,
9 the PVHA mean event probability for eruption rate at Yucca
10 Mountain, approximately 1.4 times greater. That's not a huge
11 change. It's something that's on the order of 10^{-8} . However,
12 it's a change. And those, I believe, the Board has probably
13 seen those analyses. In 2003, this year, more sensitivity
14 analyses were done that looked at the possibility of adding
15 more purely hypothetical volcanic centers. There's no
16 aeromagnetic data that support these; just what if there were
17 more centers in those areas that were noisy on the
18 aeromagnetic map where we don't have very good data.

19 Can I go back to the colored map, two slides back?
20 What the latest sensitivity analyses have done is start out
21 with the assumption that all these things up in here are
22 volcanic centers and then take the density from that and
23 apply that density of volcanic events to the areas up in here
24 where the signal is not good. Hypothetically--and there's no
25 reason to believe it's real--but, hypothetically, that would

1 produce nine additional volcanos in western Jackass Flats
2 where none are known nor are there any surface manifestations
3 and another five in Crater Flat. Doing that and
4 recalculating event probability raises the event probability
5 about 5 times to about 8×10^{-8} . That crossed our threshold,
6 the Department's threshold, for a level of concern that says,
7 all right, we're going to go out and--next slide, please--and
8 do work to identify, characterize other potential volcanic
9 buried centers and evaluate their impact on probability. A
10 new aeromagnetic survey, low altitude, high resolution, using
11 latest available techniques--again, I'm not the expert on
12 this; we'd have to get somebody from Los Alamos to describe
13 it--a drilling program to test--starting out by drilling
14 anomalies that are already known from 1999 survey and getting
15 age and chemistry samples on them. Data analysis and
16 documentation, of course, and then an update to the expert
17 assessment based on whatever new information we have.

18 Next slide, please? That work has already begun.
19 We are in the process right now of documenting the
20 sensitivity analyses just described and we are planning the
21 new magnetic survey and drilling program. Assuming the money
22 is available and it's planned, this is planned to be a funded
23 activity, in 2004, initiate drilling, complete the
24 aeromagnetic survey, continue drilling taking into account
25 new survey results in '05 and conduct that update of the

1 expert panel, wrap it up in 2006. Clearly, this needs to be
2 worked through with the NRC because we have a license
3 application submittal date in December of '04.

4 Next slide, please? All right. The last portion
5 here, I'm going to talk about where we are with the model
6 we're going to go forward for December of '04. The first
7 point, I don't have any results available, whatsoever. So,
8 the question, I'm sure you would like to ask it, well, what's
9 this going to do to those dose curves? What's going to go
10 up, what's going to go down? I don't have any answer. I
11 really don't. I'd like to know, too. However, the
12 underlying technical basis is essentially complete. I think
13 we know what we're going to be modeling. I know we know what
14 we're going to be modeling. But, any information I provide
15 here is definitely draft. These documents are not finalized.
16 And, I apologize this is all going to be words and these not
17 easy. I try to say them in fairly precise language for you
18 people to be reading them carefully later. So, pay attention
19 to the words.

20 Next, please? Okay. I'm going to start off here
21 talking about the magmatic effects on the repository. The
22 number of waste packages entrained in eruptions--this is just
23 the part that goes up into the ash cloud--is being
24 reevaluated based on the modified footprint. You've seen
25 other examples of how the layout of the panels has changed.

1 That requires actually rerunning a spreadsheet calculation
2 that overlays the probabilistic orientation and length of
3 dikes on a footprint to calculate where dikes might cross it
4 and where conduits might form.

5 The damage to waste packages and waste form during
6 eruption--these are the ones that are erupted out--is
7 essentially the same as we've had in the past. Always
8 packages in the direct path eruption are fully compromised
9 and the waste is fully fragmented. So, if a package is in
10 the path of a conduit, it's available and potentially going
11 to come out and that waste is going to end up in the ash
12 cloud.

13 Damage to the drip shield for both the eruptive and
14 that intrusive event is unchanged. All drip shields in the
15 intruded drifts are fully compromised. They're gone. That's
16 an assumption and that the drip shields were not intended to
17 withstand moving lava.

18 Next, please? This page now I'm mostly talking
19 about those packages that are damaged in the drifts and are
20 part of that groundwater source term. That's what I mean by
21 damage to waste packages and waste form and portions of
22 intruded drifts away from the path of eruption. This has
23 extensively changed from where we were in previous analyses.
24 This addresses one of the NRC's concerns. They wanted us to
25 reconsider, reevaluate our treatment of the damages waste

1 packages due to contact with magma. Indeed, we have and
2 where we are now is that what analyses we have which are
3 essentially conceptual--there are no tests here, there's some
4 simple modeling work looking at effects of heat and static
5 pressure. The waste packages will be extensively damaged.
6 So, the assumption here and this is not a data input, it's an
7 assumption, is that all waste packages in all drifts
8 intersected by magma will be sufficiently damaged, they
9 provide no further protection. So, if a dike crosses a drift
10 somewhere, we are assuming that magma flows all the way down
11 the drift to the other end and all those packages are fully
12 compromised. That doesn't mean the waste has erupted; it
13 means it's available to be contacted by seepage and become
14 part of the groundwater term.

15 The waste form in those intruder drifts once the
16 drip shield and the package are gone will be exposed to
17 seepage. The seepage will be modified. It's not simply the
18 seepage. In the site recommendation we used the same sort of
19 nominal seepage. Well, that's not very realistic. Things
20 will change in a drift that's had magma flow down it. We're
21 still working a little bit on exactly what that will be. We
22 have a model for degraded drift seepage. If we can support
23 that, we'll use it; if not, we may have to go directly to
24 percolation flux as if the--the flux of the rock further on.
25 That would be the more conservative approach.

1 The barrier effects here that possibly and very
2 likely will be provided by the remnants of a damaged package
3 which will be extensive--a package isn't going away; it's
4 just going to be damaged. The remnants of that package and
5 the effects of the chilled magma--remember, the package and
6 wastes will be entombed in frozen lava--we're not trying to
7 quantify that. We don't have enough data or a model right
8 now to quantify that. Therefore, it will not be modeled.
9 Essentially, the waste form will be in the model exposed to
10 that modified seepage term.

11 The last point here on this page, we have looked,
12 as suggested by the NRC and we agree it's an appropriate
13 thing to consider the possibility that heat and corrosive
14 gases may affect packages in drifts that have not been
15 intruded. If a dike crosses some fraction of the drifts in
16 the repository and doesn't cross others, could the heat and
17 gas effects still damage packages further away? I've done
18 some modeling work and that is--that augmentation is nearly
19 complete on that to look at gas flow both through the wall
20 rock and through the backfilled access mains and also looked
21 at direct heat conduction. Both those effects are minor,
22 very minor, and we feel confident that it's reasonable to
23 treat the waste packages in the rest of the repository as if
24 nothing had happened to them.

25 Next slide, please? Regarding the NRC's concerns

1 about surface redistribution of ash, the DOE is developing a
2 new model to include in the TSPA that will account for these
3 effects. We've done field investigations in Fortymile Wash.
4 This is worked on by Los Alamos and analog studies at the
5 Lathrop Wells Cone looking at the way ash moves down slope
6 and along ashes, looking at the geomorphology of the alluvial
7 fan on Fortymile Wash, and we believe we do have a technical
8 basis now for such a model.

9 The model will include approximation of
10 consequences of transport by sedimentary processes, i.e.
11 floods down Fortymile Wash, stuff moving in the wash, and
12 stuff being brought up by rare major floods out into the
13 divide areas.

14 And, the TSPA model will also include removal of
15 contaminated ash because field evidence shows that those are
16 quickly the divide areas which are almost 80 percent of the
17 geomorphic surface out there, are basically erosional
18 surfaces. They're not depositional. So, we will be looking
19 at erosion processes.

20 Wind direction will not be assumed to be fixed
21 toward the location of the compliance point. In past TSPAs,
22 we have had no explicit model for surface redistribution
23 effects. We argued in the site recommendation that fixing
24 the wind to the south so that no matter what happened, the
25 eruption blew an ash cloud directly on the compliance point--

1 we argued that was a sufficient compensation for lack of the
2 redistribution model. The NRC disagreed. So, we will
3 produce the model, but we will also, therefore, allow the
4 model to work as it reasonably should. Sometimes, the ash
5 cloud might land upstream in the wash and only come down by
6 sedimentary processes.

7 Next slide, please? A couple of other minor
8 changes worth noting. We are making some modifications for
9 those who follow the (inaudible) model, the ASHPLUME model is
10 being modified to allow an improved treatment of the eruptive
11 column. In the past, column height was calculated as a
12 function of eruptive volume. Now, it's going to be
13 calculated as a function of mass discharge rate. This is
14 more realistic. And, some the input parameters, most of it
15 will be wind speed, are being updated. And, the biosphere
16 dose conversation factors are also being updated. This is
17 consistent with some NRC comments they didn't mention that
18 fell in the biosphere area, concerns about inhalation
19 mechanisms. So, we will see a change in the dose due to
20 changes there.

21 I think a summary slide and that's it. All right.
22 Where I went through here, I'm sorry I didn't have more
23 details for you, but I have what I have. The consequence of
24 igneous activity will be included using updated models. The
25 key phrase here, of course, is updated. Do not assume they

1 will look the same as the dose results I showed back on Slide
2 5 or whatever it was. And, those changes do include the
3 DOE's own work taking into account the agreements with the
4 NRC and comments and observations from the peer panel and
5 this group.

6 And, this last bullet here is probably one of the
7 greatest interest. We believe that the models are reasonable
8 and appropriate to support licensing decision and we
9 certainly acknowledge that we have conservative assumptions
10 where information to support realistic models remains
11 unavailable. The overall intent, however, is still to
12 provide the reasonable estimate of possible consequences for
13 the NRC to use in decision making.

14 And, that's it.

15 LATANISION: Thank you. Paul?

16 CRAIG: Peter, I was going to ask a question, but it
17 turns out that you've got the answer in your backup slides.
18 So, it's more a comment. In the spirit of the ghost of Jerry
19 Cohen, wearing Jerry's hat, a fair portrayal requires--could
20 you turn to 28, please? A fair portrayal requires that one
21 think about both probability-weighted dose and the actual
22 dose and you've provided exactly the right figure here which
23 says that the actual dose, if the event occurs soon, might be
24 in the neighborhood of 10R and then declines rapidly. It is
25 important, as Jerry has said about a thousand times, that

1 both of these numbers be presented.

2 SWIFT: And, there it is.

3 CRAIG: There it is. Thank you for the backup slide.

4 SWIFT: I should comment just in the interest of full
5 disclosure that this is a different model than the one that
6 produced the doses back on Page 5. This is an earlier
7 generation. It actually requires a different run of the
8 model will generate these plots than the probability-weighted
9 one, and I'm sorry, I apologize for not having wholly
10 consistent comparisons there.

11 LATANISION: Mark?

12 ABKOWITZ: Abkowitz, Board. This is somewhat related to
13 Dr. Craig's comment. So, I wanted to go back to Slide #7 and
14 make sure that I have a good understanding of what is shown
15 here. If this is the uncertainty in the probability-weighted
16 dose for the igneous intrusion category, the mean looks to be
17 at or above the 95th percentile of uncertainty. And, I'm
18 having trouble understanding what--how that is.

19 SWIFT: Well, it's a strongly skewed distribution. This
20 is a possible and normal state for distributions that are
21 driven by a relatively small number of the outcomes. Let's
22 say there were, in fact, 5,000 total curves in there, and at
23 time 100, let's say that--I should pick an easier number.
24 Let's say there were over 1,000 of them. Apparently, more
25 than 950 of them were zero at that time; therefore, the mean

1 is merely 1/1000th of the largest rather than the--as long as
2 more than 95 percent of the total contributors to the mean
3 are zero, 95th percentile will fall below the mean. That's a
4 correct and plausible thing to have happen.

5 ABKOWITZ: Okay. And, is 95 percent confidence the
6 criteria that you're using right now for this application?

7 SWIFT: No. This is not 95th percentile confidence in,
8 what is that, a 95th percentile. What that black curve tells
9 us is that out of that set of model results, 95 percent of
10 them are below that curve at any point in time. The way the
11 regulation is written, it will license on--only the
12 quantitative measure will be the location of the mean and,
13 although it's not written into this regulation, some measure
14 of the confidence that that is a true mean of this
15 population. Getting at the confidence in the value of the
16 mean as a true mean of this population is a different
17 question than where the 95th percentile lies. That could be
18 done by multiple replicates of the modeling system. Repeat
19 the (inaudible) and realizations and see how closely that
20 mean overlies it.

21 ABKOWITZ: Okay. Now, what I'd like to do is go to
22 Slide #6 and I'm assuming that we probably have similar error
23 bounds in the rungs that are made for igneous eruptives as we
24 did for igneous--

25 SWIFT: Uh-huh. Yeah, I just chose not to show those

1 for time.

2 ABKOWITZ: So, had you shown those, we would have seen
3 some simulation runs that would be showing probability mean
4 annual doses in the neighborhood of 100 or higher?

5 SWIFT: I'm sorry--

6 ABKOWITZ: If we go back to Slide #7, you'll see that
7 there are observations that are three orders of magnitude
8 higher than the mean within the regulatory period.

9 SWIFT: Yeah.

10 ABKOWITZ: And so, if were to transpose that similar
11 process on Slide #6, then we would see some of those lines up
12 in the 10 to 10² area. Is that a reasonable transformation?

13 SWIFT: In principle. The distribution about the
14 eruptive mean is narrower than that about the groundwater
15 mean in large part because the ASHPLUME is more linear model.
16 It's a better behaved model. But, yes, there would be a
17 spread of about an order of magnitude--

18 ABKOWITZ: Well, there clearly was a reluctance to show
19 that in this presentation and I guess what I'm getting to is
20 in the presentation that was made prior to yours by Deborah,
21 there was an implicit recognition that the igneous issue is
22 the biggest uncertainty issue at this point in time. If I
23 transpose this as I wanted to here, it tells me that the
24 uncertainty bounds are broaching where the regulatory limit
25 is. So, where I'm going with this is TSPA. Everything

1 you've told me, I think, in how the projections would change
2 based on what's new is, if anything, the means will go up a
3 little bit because you have 1.4x5 increase in event
4 likelihood. The other things that you're doing, so far, to
5 TSPA seem fairly nominal role to that.

6 SWIFT: Yeah. Let me--

7 ABKOWITZ: I'm just going to share my thought and then
8 I'll go away. So, we're on ongoing with this since there's
9 clearly an uncertainty issue that could drive this whole TSPA
10 bananas. And so, since you're now telling me that there's a
11 comprehensive program to drill and do other things to try to
12 narrow that uncertainty, I'm having a hard time understanding
13 how that information is going to become available by December
14 2004 to make any meaningful difference to the license
15 application. So, going back on my comment yesterday about
16 taking the time to do it right, could you, please, respond?

17 SWIFT: I want to clarify that 1.4 or 8 times--or,
18 sorry, 5 times the initial mean probability, those were
19 hypothetical sensitivity analyses. We've not proposed using
20 that $5 \times 1.6 \times 10^{-8}$. We do not propose using that as our
21 licensing basis because that is simply a hypothetical
22 sensitivity analysis. What we're doing is gathering the
23 data, we hope, to tell us what it really should be. The
24 licensing basis will be that 1.6×10^{-8} . However, in a separate
25 agreement with the NRC, we will also show them a case simply

1 run at a probability they asked for which is 1×10^{-7} per year
2 which is higher than 8×10^{-8} . So, although we believe that
3 based on current qualified information, 1.6×10^{-8} remains the
4 right type of a licensing basis. We will show the NRC
5 consequences at a higher probability. At this point, we're
6 beyond the realm of technical decision making; this is a
7 regulatory decision and obviously the NRC will have some say
8 in that.

9 Is there more I should go to there?

10 ABKOWITZ: No, thank you.

11 CORRADINI: I have a few questions. But to handle
12 Mark's question, there is a document we were given a year ago
13 called risk information on support prioritization of
14 performance assessment models. Figure 37 has, I think, what
15 Mark is looking for in terms of 95th percentile versus the
16 mean. So, just to get back to the--

17 SWIFT: Okay, thank you. Yeah, unfortunately, I
18 actually had that figure in this presentation and then I
19 swapped it out with the next one because I thought it made it
20 clearer display of uncertainty. But, no, I fully acknowledge
21 the uncertainty about that mean and your point that--although
22 I would reiterate that the NRC has stated in regulation they
23 will regulate on the mean, clearly the uncertainty
24 distribution about that mean is of interest. And, if we
25 start seeing a significant portion of that distribution

1 falling close to or above the compliance point, you know, it
2 will enter the qualitative decision making process.

3 CORRADINI: So, now, some other questions. So, the
4 first thing you said, I guess, I want to go to Page 13 or
5 Viewgraph 13, excuse me. So, the last bullet, reconsider
6 conservatism of damage to waste packages and waste form, and
7 then that was the end of the TRB's observations prior to
8 the--

9 SWIFT: It was one of your consultants. Yeah, one of
10 your consultants' observations, yes.

11 CORRADINI: Excuse me, right. And then, following, I
12 think you have on the next slide if I've got these slides in
13 order--maybe the next one after that, excuse me. There was
14 one of them that said that after this at the end of your TRB,
15 consultants again suggested to look at the waste package
16 interaction. You made a point which was that at this point
17 no additional modeling data gathering or analysis will be
18 done for that. It will essentially be reconsidered that if
19 there is a--I've got to get these right--not an eruptive
20 event, but the other one, intrusive event--

21 SWIFT: Yes, groundwater side.

22 CORRADINI: Intrusive event where it goes in and entombs
23 a drift that anything that the magma touches essentially is
24 assumed to completely fail. Have that I got that
25 approximately right?

1 SWIFT; Uh-huh, yes, that is correct.

2 CORRADINI: Okay. Would it be beneficial or essentially
3 a--so, I think you have an answer or maybe you've not thought
4 of this--beneficial to look at other data from other sources
5 on this? That is there's a good deal of effort by the NRC
6 that's spent over the last 20 years on safety analysis
7 looking at essentially this. That is groundwater release of
8 severe reactor accidents where the materials are almost
9 identical, okay, and doing--I don't want to say full scale
10 testing, I'll say prototypic testing of these materials and
11 looking at essentially this in two ways. One which is is
12 there any sort of--what is, I'll call it--I'll use the word
13 "decontamination factor" of this frozen material; and two, a
14 fairly detailed groundwater transport model of leaching from
15 this material into that. Would that be of some use?

16 SWIFT: Of course, it would. I believe the model we've
17 taken here is arguably a bound. Therefore, I think any work
18 done would either leave the consequences where they are or
19 reduce them.

20 CORRADINI: Okay. So, I guess I'm encouraging--and
21 again I understand where you're coming from relative to what
22 you have to do in the time you need relative to the LA, going
23 back to Mark's point about time versus your schedule, but I
24 really do think this past data is available. In fact,
25 essentially, Sandia--I'll pick on you guys--were the major

1 contractors for the NRC that developed most of this detailed
2 prototypic data. That's point one.

3 Point two is on data. You made a mention--and I
4 can't find the right slide for this maybe Slide--is this
5 Slide 15, yeah--that there was some need to go back and look
6 at compressible flow modeling. My memory tells me that there
7 were investigators in the aeronautics and the GALCIC, the
8 Graduate Aeronautics Laboratory at Cal-Tech, that have been
9 doing work in volcanic eruption modeling for, at least, two
10 decades and compressible flow modeling has been particularly
11 what they've been doing. And, in particular, I'm thinking of
12 Professor Sturdeyvant who has now passed away, but others
13 have been doing it. I'd again recommend since you're not
14 going to look at new data or developing it or new modeling
15 that, at least, going back from a literature standpoint may
16 benefit you in terms of this compressible flow modeling in
17 the eruption zone because, if I remember correctly, this was
18 the major part of their analysis in terms of volcanism. So,
19 that's the second point.

20 The third point, I guess, on this slide, is the
21 dike/drift intersection--you say DOE agrees that the overall
22 conceptual model is adequate and reasonable. Is it
23 reasonable or conservative?

24 SWIFT: Speaking of the model for the intersection of
25 the dike with the drift and then the eruption, I would stick

1 with reasonable.

2 CORRADINI: Okay.

3 SWIFT: The conservatism comes here in, I believe, that
4 number release from all the damaged packages. And, when I
5 said--

6 CORRADINI: But, with the actual modeling of the
7 process?

8 SWIFT: Yeah. I'll stay with that.

9 CORRADINI: Okay.

10 SWIFT: When I said I thought we had a true bound here,
11 I was referring--I want to clarify that. I was referring
12 only to the treatment of the damaged waste form and waste
13 packages for that groundwater term. I think the rest of our
14 model is within something reasonable.

15 CORRADINI: The reason I ask it like that is that in
16 the--I can't remember if it was January or February where
17 your review panel made its presentations. I tried to pay
18 attention. This is a relatively complex area. But, I came
19 away with, at least, the panel's feeling that reasonable may
20 be a tad on the--I guess, I didn't come away with reasonable.
21 So, hearing you use that terminology made me think a bit to
22 ask, but this is excluding the waste package interaction?

23 SWIFT: I have--well, we have others here in the
24 audience if somebody wanted to jump up and comment on that, I
25 could ask them to.

1 CORRADINI: They're letting you hang yourself.

2 SWIFT: No, actually, I'm enjoying this, but I see some
3 people here itching. There's one. This is Eric Smistad from
4 the DOE.

5 SMISTAD: Eric Smistad, DOE. Peter's right. There
6 were, you know, components the panel pointed out, technical
7 and engineering side. The waste package was one area where
8 they thought we were perhaps conservative by moving forward
9 with the assumption that the packages were gone essentially.
10 There was one area more on this, sort of the natural system
11 side, and that is the conduit and the incorporation of waste.
12 They perhaps felt that when a package is hit by a dike that
13 all the waste in that package goes up and out and isn't
14 available for a plume. So, they felt there might be some
15 conservatism there. So, there were aspects that they felt
16 were conservative, but overall they thought that we'd put
17 together a reasonable model.

18 CORRADINI: And then, one last question and I'll stop
19 which is these disruptive events look to me like, I'll call,
20 a natural accident to use a term. Is looking at the
21 regulatory limit of 15 mrem per year and probability-
22 weighting the event the right way to look at this versus the
23 way I look at an accident from a manmade structure which is
24 the integrated dose to an individual at the site boundary?
25 The NRC requires--this is not your regulation, but from a

1 standpoint of just pure common sense. The NRC requires in
2 current operating class that you cannot expose a member of
3 the general public to any sort of event from any probability
4 to more than 25 rem at the site boundary. Has anybody backed
5 out what that would be for these sort of disruptive events?
6 I'm getting back to Paul's question relative to unraveling
7 the time-weighting of this. You see what I'm asking?

8 SWIFT: Sure. And, first, part of the target audience
9 for your comment would be the NRC, not the DOE and certainly
10 not me.

11 CORRADINI: Of course, but you're there and so I've got
12 you.

13 SWIFT: Is Abe Van Luik in the audience? He may have
14 already left. Oh, there you are, Abe. Abe, would you like
15 to comment on this? This is something you have thought
16 about. Sorry to put you on the spot, Abe.

17 VAN LUIK: Abe Van Luik, DOE. What we have done is we
18 have looked at some of the ICRP recommendations on
19 intervention levels where they say that if you have even an
20 unlikely event that produces between 10 and 25 rem that
21 perhaps you ought to take into consideration that you can do
22 something about this before you construct whatever facility
23 you're constructing and you can do something like the
24 backfill issue, for example, which we have talked about. We
25 felt that the Slide 67 showed that we were right on the cusp

1 of one of those levels. So, we felt pretty comfortable that
2 if we refine our modeling and get a little bit more
3 realistic, we would definitely be below that level and
4 probably this is not an intervention situation. But, this
5 has nothing to do with the NRC regulation. It's just we are
6 looking at the international advice on a generic level on how
7 to manage this kind of risk and uncertainty.

8 CORRADINI: But, the international, what you quoted the
9 10 to 25 rem though, is still what has historically been the
10 level below which the events have to be to be considered
11 acceptable from the standpoint of what I'll--I'll again to
12 use this not good work, but natural accident, so to speak.

13 VAN LUIK: Right. If we look at the language of the
14 ICRP, they say that generally you would want to consider if
15 it's more than 10 rem that you expect from this event that
16 you would try to do something in the design to ameliorate
17 that. However, if it's 10 rem or below, you probably would
18 not want to because it is, after all, a very low probability
19 of that. They were looking mainly at human intrusion, but in
20 talking with some of the ICRP members, they say this should
21 generically apply to other things, as well.

22 SWIFT: Steve Hanauer from the DOE also has a comment.

23 HANAUER: Steve Hanauer, DOE. I spent a long time
24 working in the NRC and I believe you have mischaracterized
25 the regulation. The 25 rem comes from a deterministic

1 regulatory scheme, but there is an underlying probabilistic
2 basis in that the accidents which you are required to analyze
3 and which are subject to this limit are a defined list, and
4 although we didn't have the probabilistic technology when we
5 developed this as we do today, this is not true of all
6 accidents that one can conjure and, in fact, one can think up
7 accidents for which the calculated doses are much higher.
8 They are required to be made incredible which is not at the
9 moment associated with a defined numerical probability, but
10 in fact, there are whole programs to insure that these
11 accidents don't occur which in modern days we would say that
12 their probability is below some screening criteria. So, it
13 is not true that all accidents, manmade accidents in your
14 parlance, have to be managed so that the dose is less than 25
15 rem, but only a defined set.

16 CORRADINI: Within the design base?

17 HANAUER: This is the design basis.

18 CORRADINI: Okay. But, this is in the design base?

19 HANAUER: You're comparing not apples and oranges, but
20 apples and airplanes. This is a probabilistic approach to
21 safety analysis and safety regulation in which the NRC has
22 established limits on the probability-weighted risk. The
23 other was an entirely deterministic basis in which some
24 unarticulated probabilistic scheme was used to decide which
25 accidents are within the design basis.

1 LATANISION: Thanks Steve. I'd like to take one more
2 question from Dan and then we're going to have to move on.

3 BULLEN: Okay. Bullen, Board. I'll make this a real
4 simple question because this is out of my area of expertise
5 also. I just had a question on Figure 17 which is the
6 aeromagnetic anomaly survey data. Specifically, with respect
7 to the fact that you made a comment about the impact of the
8 buried volcanic age on the probability-weighted distribution
9 or whatever you're going to use to calculate the effect. If
10 you drilled the potential anomalies and you dated them, is
11 there a possibility that the probability could go down
12 instead of up?

13 SWIFT: I doubt that. If it all turned out to be older
14 than, say, 5 million years, then I suppose the eight that
15 were originally included in the PVHA estimate should be
16 struck from their list. This seems improbable to me.

17 BULLEN: Okay, just wondering.

18 SWIFT: Mike, do you want to comment on that or Eric? I
19 may have misspoken there.

20 SMISTAD: Eric Smistad, DOE. It appears essentially
21 correct. The one aspect of that that could change that in
22 the regard you're talking about is reconvening a panel and
23 that panel may look at the information that was available in
24 '96 for PVHA and all the information since then including the
25 information for this new survey and come up with a different

1 probability and that probability could be--

2 SWIFT: Okay, thank you.

3 BULLEN: I've reconsidered and Richard has the last
4 question.

5 PARIZEK: Yeah, Parizek, Board. I'm going to short list
6 which--and just get on with one case of the schedule for
7 2006. That's about the time when this--

8 SWIFT: Two slides on from this?

9 PARIZEK: When this work--that's a good slide--when this
10 work will have been done in terms of the aeromagnetic survey
11 and drilling. In view of the importance of the issue and
12 then the impact mitigation options that may exist and affects
13 design, then all of the characterization efforts tied to that
14 shouldn't--wouldn't it be reasonable to sort of accelerate
15 this plan because it is one of those key areas? I mean,
16 again to get to the end point quicker--

17 SWIFT: Yeah, I'm going to let Eric take this. Go
18 ahead, Eric?

19 SMISTAD: Eric Smistad, DOE. I apologize, Peter. One
20 of the things we are looking at, Dick, is to pull that up
21 into '05, if we can. Another important point here that may
22 get at what you're talking about is that, you know, the
23 culmination is the reconvening of a panel, but we'll have
24 information prior to that. We'll have an idea of whether or
25 not these anomalies we're going after really are buried

1 basalts and we'll have the ages, as well. So, we'll have a
2 really good indication of what we've got prior to, you know,
3 the '05 period even.

4 And, if I may, I wanted to answer another question
5 that was asked earlier if that's permissible. Sorry about
6 that. There was a question. I can't remember who asked it,
7 I apologize, about the 1.4 when we looked at the new
8 anomalies and got a 40 percent increased and we assumed all
9 of them were buried basalts and that would increase the dose.
10 I mean, it's essentially a straight multiplier. There's
11 other things that may actually bring the dose down. I didn't
12 want to leave you here with the impression that that dose is
13 going to go up necessarily. It could go down. There's
14 several things on the eruptive side that could cause that.
15 Peter mentioned the wind direction. Before, we had assumed
16 it was all blowing south. Now, we're going to do a 360
17 degree look at that so that will reduce the amount of
18 contaminated ash in the plume. It will get down to the RMEI
19 in terms of an ashfall. The other area is the conduit
20 placement. We had made a conservative assumption on conduit
21 placement in SR where we essentially took the worst location
22 for that conduit which was straddling a couple drifts. Now,
23 we're randomly placing that conduit. So, we'll have a
24 reduction in the number--we've actually have had a reduction
25 in the number of packages hit.

1 The other area that--and that's stuff we perform.
2 There's an area we're evaluating right now which is the
3 number of drifts intersected, and in that particular AMR, we
4 had assumed the worst case. We had intersected as many
5 drifts as we possibly could. We're looking at what I think
6 is a more reasonable approach and not fixing that on the
7 maximum number of drifts, but looking at more of a way of
8 placing that--randomly placing that around so that you don't
9 absolutely have the most conservative look on that. So,
10 there are areas that can actually bring the dose down.

11 LATANISION: Peter, thank you very much.

12 SWIFT: Thank you.

13 LATANISION: Our final speaker this morning is Greg
14 Lanthrum. Greg was recently named director of the Office of
15 National Transportation--of National Transportation Program
16 which gives him the responsibility for developing the
17 transportation infrastructure needed to move spent fuel and
18 high level radioactive waste to Yucca Mountain. Greg was
19 formerly the director of the environment management national
20 transportation program in Albuquerque where he was
21 responsible for managing the transportation of a broad range
22 of nuclear and radioactive materials.

23 Greg, welcome. I have the feeling we're going to
24 see a lot more of you in the future, but welcome to the
25 session today.

1 LANTHRUM: Thank you. I can tell that you folks haven't
2 had much (inaudible) yet. My name is actually Gary instead
3 of Greg. So, I get the first punch in here. I'm sure there
4 will be more coming back the other way.

5 LATANISION: Just call me Sam.

6 LANTHRUM: Okay. I'm one of these geeks that has to
7 push my own buttons and I know you're going to want to push
8 my buttons later, but for now I'm going to push them myself.
9 But, I'm going to tell a little bit of a transportation
10 story I heard last week to kind of set the stage for this.

11 SPEAKER: Well, you need to be miked.

12 LANTHRUM: Need to be miked on, okay. The story is
13 about an airline flight out of a southwest city in the
14 summertime, probably Tucson. And, as most of you that have
15 been in the southwest in the summer, they have thunderstorms
16 that come rolling through and one of these small very intense
17 thunder cells came across the airport with wind shear. It
18 shut down operations for a fairly extended period of time
19 while people were already boarded on the plane and sitting
20 there twiddling their thumbs. And, about an hour passed, the
21 weather cleared, the airport started operations again, and
22 they had a mechanical problem in the cockpit. It was going
23 to probably be another hour before the plane could pull back
24 from the gate. So, the flight attendants allowed the
25 passengers to deplane for a bit and stretch in the lobby, to

1 stretch and get a little more comfortable before the long
2 flight. One of the passengers was a blind person and they
3 had their seeing eye dog there in the airplane with them.
4 When the flight attendants came back and they asked if he
5 wanted to deplane, he said, no, it's more problem than it's
6 worth for me.

7 A little bit later when the pilot was walking up
8 and down the aisles asking the folks that had remained if
9 everything was okay, the blind man asked if perhaps his dog
10 could be taken out off the jetway down onto the tarmac and to
11 go to the bathroom because the dog didn't have the kind of
12 endurance that he did. And, the pilot said, sure, he'd be
13 happy to take care of that for him. So, you can imagine the
14 shock on the people in the terminal looking out the window
15 when they see this pilot with those dark aviator sunglasses
16 and the seeing eye dog coming down the ramp. I feel a little
17 bit like that. I think those people that were in the
18 airport, if they had just seen the pilot performing his job,
19 would have felt pretty comfortable. He could probably take
20 off and land planes fine. But, seeing him out of context and
21 seeing him walking with these dark glasses and a seeing eye
22 dog gave kind of a bad impression to begin with.

23 I feel a little bit nervous because you guys
24 haven't seen me operate. I haven't had a chance to go to
25 rapport with any of you yet. I'm hoping to do that over time

1 if I don't lose my head quickly in this program. But, I
2 haven't really gotten operational. You haven't seen me fly
3 yet. What we're going to talk about is not so much flying,
4 but the things I'm doing to get the program to where it can
5 fly. And, with that as a context, I'll jump into this.

6 I'm going to talk about four things in the
7 transportation arena today. I'm going to talk about the
8 management approach that I'm trying to implement. I'm going
9 to talk about project planning which I think is very key and
10 John Arthur has set a very good stage for me and a good
11 example that I can fold into and become part of the overall
12 program. So, transportation is not something off by itself,
13 but the project planning that we're going to do to make sure
14 it's part of a greater program and works seamlessly with the
15 other aspects of RW is going to be important. The
16 institutional programs that will be responsible for, that's a
17 very significant and important part of my job. And then,
18 finally, the procurement plans that we've got or, at least,
19 the procurement activities that we've got.

20 I'm new, as I just indicated, and we've got a new
21 deputy director working for Margaret Chu (phonetic), Ted
22 Garrish. He's my actual boss. And, Ted and I are working
23 together right now to define the management approach for
24 transportation as it fits into the context of the overall
25 program. That's very important. There's been a lot of

1 effort done in transportation in the past and Margaret is
2 fond of saying that there's lots and lots of dots, lots of
3 good little activities, lots of work, but there's no coherent
4 line of management thought that connects all those dots in a
5 meaningful way and that's a big part of what Ted and I are
6 trying to do for transportation right now.

7 I have a proposed mission statement. I'll go ahead
8 and throw it at you here. That is that, "The Mission of the
9 office of National Transportation is to provide the OCRWM and
10 the public with safe, secure, and efficient transportation
11 support. That support includes planning, developing, and
12 operating a transportation system. This system will be used
13 to move spent fuel and high level waste from private and
14 Federal facilities and storage sites to a repository at Yucca
15 Mountain."

16 It can look like a fairly canned capturing of what
17 the mission is, but I think it's pretty important to
18 recognize that safety really is a hallmark of what we're
19 trying to do. One of my goals--and there wasn't much of a
20 background introduction for me to give you a little bit of
21 fuel from where I come from so you know I'm not just a guy
22 with dark glasses walking a seeing eye dog. I started off in
23 nuclear engineering and I worked in the utility industry for
24 five years. I was the licensing engineer for the Trojan
25 Plant and got the plant through the licensing process and

1 into operations. I quit for a year and traveled on a
2 sailboat because that was a real pain and I really needed a
3 break.

4 So, I took a year and circled the Pacific on a
5 small boat by myself, came back, and I decided that the
6 nuclear business maybe not was so bad, after all, and I went
7 to work as a project manager at Puget Sound Naval Shipyard.
8 There, I worked with a lot of ship defuelings and refuelings
9 and so was involved in getting spent fuel out of the
10 submarines and surface ships and then back then we used M-130
11 casks. They've migrated to M-140 casks now. That's how long
12 ago it was. But, we were involved in spent fuel shipping to
13 Idaho at the time. As the nuclear Navy shrank in size at the
14 tail end of the Reagan years, the overall defense spending
15 went down considerably. They went from a 600 ship fleet to a
16 300 and some ship fleet. The work for the shipyard shrank
17 dramatically and we went through several rounds of RIFs. I
18 got the pleasure of actually handing out pink slips and I
19 went through that twice and it was more painful than the
20 licensing process of the utility and I departed for DOE at
21 that time. They were hiring.

22 And, in DOE, I worked mostly in environmental
23 management program. I worked with the waste isolation pilot
24 project and transportation and packaging issues. Then, I
25 transitioned over to work with the secure shipping operation

1 within DOE that moves the weapons and special nuclear
2 materials. So, I've dealt with transportation and packaging
3 for a long time in my career. And, I understand the
4 importance of safety and one of my real goals--and I'll jump
5 down to here, the next slide.

6 Continuing, I have a vision of creating a
7 transportation program that effectively addresses stakeholder
8 concerns as safe, compliant, and operates so efficiently that
9 the customers can take the system for granted. There was a
10 huge amount of turmoil associated with getting the waste
11 isolation pilot plant opening and making the first shipments
12 and they did an awful lot of background work with all of the
13 emergency responders and the lands that they passed through.
14 They did a lot of work with the shippers. They did a lot of
15 work with receivers. And, all that work paid off because
16 after that first shipment, things have become very routine
17 there. Transportation is not a focal point from the waste
18 isolation pilot plant's operations anymore and that really is
19 the goal for me to get to for the RW shipping program. I
20 would like to have done all this homework adequately enough
21 that when we get into operations, those operations can be
22 deemed as fairly routine. And, I have the underscoring here
23 that I understand that that vision can only be achieved in a
24 cooperative effort with the institutional groups in our
25 customer base. That's likely where the bulk of my attention

1 is going to be in the first year because the actual shipments
2 are far enough away. There's a lot of effort to build the
3 program. One of the focal points of that building is going
4 to be with our institutional groups.

5 Strategic planning and other plans. I think in the
6 past, there's been a discussion about a whole lot of planning
7 documents that transportation would come up with and there's
8 been mentions of things like communications plans and
9 institutional plans and campaign plans and shipping plans,
10 just a plethora of plans. Before we get into what plans
11 actually come out, decisions on the actual management
12 approach that's going to be taken have to be settled. I
13 think we're very close to having that done. As the decisions
14 on the management approach are set in stone, the strategic
15 plan and the strategies for implementing that management
16 approach can be articulated more clearly than they have in
17 the past. That's what's holding up the strategic plan right
18 now and I'll raise my hand in saying that I'm guilty. Part
19 of it was because despite my involvement in transportation in
20 general, in the past, I haven't had a whole lot of direct
21 involvement with RW transportation. And, there's a lot to
22 learn. Like I indicated, there's a whole bunch of dots, a
23 lot of work had been done in the past. That body of work has
24 been pretty tough to absorb. I feel I have to absorb and
25 understand that history and the current management approach

1 and synthesize the two to come up with the actual strategy
2 for being successful in the future. We're pretty close.

3 One of the things I had a problem with in the
4 strategic planning environment before I came on board was
5 that it was focused on creating a program somewhat ex nihilo
6 and I think it's important to understand that we're not
7 building something from scratch, we're building something
8 that progresses from what's been done in the past. The
9 lessons learned from the WIPP Project are lessons that I want
10 to take directly to heart. There have been very good things
11 and a few things that may not have worked so well, but I want
12 to make sure that I accommodate the good things that came out
13 of the past and build from that rather than trying to start
14 something from scratch. And, that's one of the reasons for a
15 delay in getting the strategic plan out.

16 I'm also working to define all of the pieces of the
17 program and how they will work together. As I mentioned,
18 this idea of all these dots of work that have gone on before,
19 connecting the logical line through those dots and how we'll
20 manage the program as it moves from planning into
21 infrastructure development and then into operations is very
22 important. And, I can't be successful with any of those
23 pieces until the planning is actually coherent and has that
24 management thread of thought that connects all those dots.
25 And, again, this is reiteration that my focus is on getting

1 those pieces to work together.

2 How many other plans will there be? There's
3 clearly a need for lots of strategic and operational
4 planning, but there's a difference between planning and
5 plans. I think that it becomes problematic if you capture
6 all that planning activity in separate documents. If you
7 have a dozen different plans, configuration control becomes
8 an absolute nightmare, particularly because these plans all
9 become very interlinked. If I have a dozen plans that I have
10 to manage and I change one through some sort of a revision
11 control process, I have to worry about how that change
12 affects all the other plans that may be out there. As a
13 consequence, I'm working to maximize the effectiveness of my
14 planning efforts, but minimize the number of actual documents
15 that get issued out of that process.

16 My goal is to issue one, comprehensive management
17 document that will have a number of elements, whether those
18 elements are chapters or appendices, or what have you, that
19 address where I stand in the maturity of the planning
20 activities for various functions that I am responsible for.
21 Then, I have a single document, hopefully, so that when one
22 part changes, I don't have to go fishing back through a bunch
23 of files to find out where other documents might be affected.
24 I would like to have a more easy to control documented
25 system for what we're going to be doing.

1 And, the first portions of this master plan, I'm
2 expecting our master document in the 2004 time frame, and as
3 I indicated earlier, one of our initial focal points is going
4 to be on developing the institutional programs because
5 there's a huge amount of interface that's going to be
6 required there.

7 And, this just highlights there's lots of
8 transportation information that's available. A lot of work
9 has gone on and it's been good work. It's just pulling all
10 that work together into a cohesive program with a good
11 constant management thread that ties it all together into
12 something that can be deployed as an operational activity
13 rather than just as a set of separate plans.

14 The other thing that I'm working on and it's
15 becoming more and more important is interfacing the
16 transportation planning with repository planning because
17 transportation is a service organization. I'm not what's
18 driving the program. I'm there to make sure that the program
19 is successful at providing a service. And, one of my main
20 customers, in addition to the shipping sites, the utilities,
21 and the DOE sites that have spent fuel and high level waste,
22 there's the actual repository and I have to make sure that
23 what I develop both in terms of casks and in transportation
24 capability matches up very well with what the management
25 capability and operational capability are at the repository.

1 John conducts these monthly operating reviews and I'm going
2 to start doing that both internal to the headquarters
3 organization between the strategy group and the
4 transportation group to make sure that what they're looking
5 at in the realm of waste acceptance is tied in very well with
6 what I'm doing in transportation infrastructure development
7 and again tying in more directly with the operating reviews
8 that are being done at the Yucca Mountain Project to make
9 sure that their facility development plans and what they're
10 rolling out for operations, the transportation program is
11 going to be there to support that, as well.

12 What I've done is I've broken down the program and
13 right now I've got five projects. The number may change over
14 time. What I wanted to do was to drive a logical approach to
15 breaking down the work into the smallest activities that we
16 can conceive of at this point. And, it's going to be in an
17 integrated process. The five projects I have right now were
18 just to get the ball rolling. I've got an institutional
19 project. I've got an acquisition project which looks at the
20 cask and rolling stock requirements. I've got a separate
21 project for looking at the requirements and need for a fleet
22 maintenance facility. That may wind up getting rolled into
23 one of the other activities or any other projects later on as
24 we decide how best to tie these pieces together. The
25 important thing is that I've got my staff looking at a very

1 structured approach to rolling out the program where you take
2 large lines and you can call them product lines, for want of
3 a better term, like the institutional product line and how we
4 will interface defining all the things that we think are
5 important, all the milestones that we're going to have to
6 meet, all the requirements that are out there, and then
7 drawing the interactions between the activities in one
8 product line with those in another and drawing the
9 interactions between all of my product lines and the things
10 that are going on at the repository and the things that are
11 going on in strategy development within RW. A lot of that
12 work had already been done on identifying activities, but
13 structuring them in a projectized (sic) context hadn't been
14 done before and that's one of the first things that I'm
15 working on.

16 There's also some indirect infrastructure that's
17 needed. It's pretty easy to understand that to do shipments
18 you have to have casks, you have to have rail cars and/or
19 trailers that can haul the contents. Those things are pretty
20 straightforward. There's some indirect infrastructure that
21 we have to be thinking about, as well. One of the things is
22 what are the capabilities at the actual shipping sites?
23 There was a survey done almost 10 years ago that captured, I
24 think, the term was the site's requirements documents, SRDs,
25 was the terminology used, but they captured a lot of the

1 capabilities that sites had 10 years ago. But, things change
2 over 10 years. One of the things we've got rolling out at
3 the beginning of the new year--provided that the funding is
4 as adequate as we've all got our fingers crossed for--is to
5 do a reanalysis of those surveys and look at the pieces of
6 that data collection that really are critical to
7 transportation and then start asking questions about what
8 elements of that infrastructure has changed, modified? Maybe
9 some of it's been lost, maybe some new capabilities have been
10 added. But, I have to be very aware of what the shipping
11 site capabilities are to make sure that I can interface with
12 that. That may actually drive some of the capital
13 procurements that I have to do. If a site has lifting
14 requirements that they don't have current crane capacity to
15 meet, I have to make sure that I'm in a position to be able
16 to support the interface between getting a package onto a
17 trailer if the site can't do it.

18 A second thing is integrating with other DOE
19 transportation activities in EM and in SA, the environment
20 program and the National Nuclear Security Administration.
21 There's a lot of interface there. Right now, the EM program
22 manages the foreign research reactor program that got a
23 national spent fuel program. They have some other programs
24 that certainly have significant overlaps with what we're
25 going to be doing. I can't go marching off and develop an RW

1 plan without a full recognition of what's already in place.

2 We have to make sure there's consistency there.

3 The connection with the National Nuclear Security
4 Administration may not be quite as clear, but one of the
5 things that's evolving in requirement space is the threat
6 protection environment. We're kind of escort is going to be
7 required? There are some requirements in place now. They
8 start off as interim compensatory measures that the NRC put
9 out. They've developed in the requirements and I suspect
10 between now and the time we actually start shipping, those
11 requirements are going to expand significantly. Probably,
12 the best experience that the Department has in providing
13 security for shipments is in the Office of Secure
14 Transportation. That was an area that I've supported before.
15 I know a lot of the people, a lot of the managers there.
16 And, even though the needs are not identical, a lot of their
17 security is around preventing theft of items and it's hard to
18 believe that somebody could pick up a spent fuel cask and
19 steal the thing, but the idea of protection, they also do
20 design basis threat assessments. And, understanding how they
21 proceed with that and how they manage those threats and what
22 they do to mitigate those threats is something that we need
23 to be dialed into. Again, it's not something that we should
24 be trying to create on a blank sheet of paper. We need to
25 pick up from what's already been done in the past.

1 The other thing is development of clear regulations
2 and standards that will affect our shipments. There is an
3 ANSI N-14 effort that's looking at new standards development.
4 A number of things I'm concerned may not get the amount of
5 support and follow through that they need, there was a
6 standard for shipment of damaged fuel, a standard for
7 shipment of high burnup fuel, other standards that were in
8 the development process and I think a lot of that work has
9 stopped. I'd like to make sure that that work can proceed so
10 that when we get to the point of actually making shipments or
11 doing cask procurements to support those kinds of shipments
12 that we have an informed base. I would really like to see RW
13 be an implement that complies with the regulations that are
14 established and vented through other processes rather than us
15 being the ones that determined the requirements. In many
16 cases, it's better if there's an independent body that sets
17 the requirements that you just meet. I just have to make
18 sure that those requirements get developed in time to support
19 my procurement needs.

20 The product of all this effort is going to be
21 essentially a series of resource loaded transportation
22 projects and schedules and each of those project plans will
23 be a living document because between now and 2010 when we
24 hope to make our first shipment, a lot of things can change,
25 but the interfaces that we're putting in place right now and

1 the connections between activities in my project plans and
2 the connections for activities of the repository and the
3 connections in the strategy development office are very
4 important. And, as long as those connections are still there
5 as changes get made in any area, I can update my project
6 plans accordingly. And, that's what change control is all
7 about. If you've got a good base that you're building from
8 and you understand where you are and why you're there, as
9 other changes come in and are driven--come as external
10 drivers to you, you can accommodate them in some sort of
11 constructive way.

12 There's a number of drivers that may come. I've
13 talked about the interface between the repository and other
14 parts of RW, but there is regulatory drivers that are
15 definitely presumably going to change between now and the
16 time we start shipping. I expect that to be a fairly
17 significant thing. Funding has always been a challenge for
18 RW in the past, and even though I'm optimistic about the way
19 2004 is going to look, there's a lot of years between 2004
20 when we would actually start shipping and if budgetary
21 constraints or budgetary excess drive changes in my program,
22 I have to have ways of accommodating those.

23 And, on institutional programs, there's no question
24 that the institutional groups that we will deal with will
25 have a significant impact about how we transition from

1 planning an infrastructure development into operations.
2 OCRWM resumed funding for the State regional groups in 2003
3 and for the transportation external coordinators' working
4 group in 2003. In fact, Margaret attended a meeting of the
5 TEC in, I believe, it was August--July or August--

6 SPEAKER: July.

7 LANTHRUM: July in Washington and that's going to be an
8 area that we will be more involved in in the future along
9 with funding of four of the regional State groups that
10 provide significant input that will help guide us as we start
11 working towards both our operational planning and the
12 emergency response plan that we're going to have to
13 coordinate with the States and the Tribes.

14 Funding complications precluded making all the
15 progress that the program had hoped to make this year. 2003
16 was just an ugly year by any measure looking at the length of
17 the continued resolution and the way that the funding was
18 constrained. We're hoping a lot of those challenges will be
19 behind us as we get into 2004. Certainly, I'm anxious to see
20 a fully funded year. We've got, at least, the financial
21 capability to move forward a lot of the things that we're
22 developing strategically.

23 The other thing was the permanent management team
24 was not in place for the bulk of 2003. Ted Garrish is going
25 to be an immeasurable aide to me in helping get some of the

1 things that I want to do vetted through the Department as a
2 whole and that will give me more of a chance to be
3 technically successful. But, now that both Ted Garrish, the
4 deputy for the strategy office in RW is in place and I'm in
5 place, that gives us a lot more latitude once we have the
6 funding to move out.

7 And, this just reiterates the fact that things look
8 like 2004 is going to be a great year. So, this will be the
9 year where I'm no longer walking the dog down the tarmac.
10 I'll be back in the plane flying it. Hopefully, that will be
11 the measure that we'll be graded on.

12 There's a number of substantive activities that we
13 have had peripheral discussions with the State regional
14 groups about engaging them on. They've raised a lot of
15 issues over the years and the program has not been in neither
16 a financial position or far enough along in development of
17 the program to address a lot of the things that they'd asked
18 about.

19 But, some of the things that we are looking at now
20 and will be proposing is an update to the protocols. DOE has
21 a transportation manual that goes with an order and it's the
22 462.2. There are transportation protocols in that manual
23 that talk about the interface. The protocols that will
24 affect the RW operations probably need to be updated. That's
25 an area that we can have substantive engagement with our

1 stakeholders on.

2 Another one is defining the expectations and
3 outlining the program for technical and emergency
4 preparedness under Part 180c. There's a lot of uncertainty
5 about how early you start that process. My intuition is the
6 earlier you start the discussions, the better chance you have
7 of actually having something that can be rolled out in time
8 to be supportive of operations when you get there. A big
9 part of that is coming to agreement about what the scope has
10 to be. One of the things that I'm concerned about right now
11 and I had some discussions out in the hallway yesterday with
12 a couple of folks is on emergency responders, a lot of those
13 folks are volunteers, particularly as you get out into the
14 rural counties, and those volunteers are emergency responders
15 not just for RW. They are emergency responders for their
16 counties or their localities. And, if they are volunteers,
17 if they have to attend FEMA training, then they have to
18 attend DHS training, and then they have to attend DOE
19 training. That becomes a fairly significant burden. So,
20 one of the first steps that I anticipate making in this 180c
21 arena is looking at what currently exists out there. What
22 are the current requirements? What are the drivers? And,
23 how do we piggyback onto that rather than creating something
24 separate from what is already there that becomes a burden
25 rather than a help.

1 Another area is developing uniform safeguards and
2 security expectations. There was just an EM shipment of
3 spent nuclear fuel that was done from Oak Ridge to Idaho. In
4 that shipment, there was a lot of hand wringing about how to
5 implement the security and escort requirements. The original
6 thought was that they would use trained hired guards for the
7 escort purposes. The problem is that getting the weapons
8 permits with all the jurisdictions you have to cross, they
9 would have had to have dealt with each jurisdiction that had
10 control over that along the way, and in the time frame that
11 was available, that became an insurmountable problem. And,
12 understanding problems like that far enough in advance to
13 address them is going to be an important part of how we roll
14 out our expectations and make sure that we have a program
15 that's able to be operational when the time comes. The way
16 the Idaho shipment was handled was the Officer of Secured
17 Transportation stepped in. They provided on Federal agent
18 that was the armed escort with a number of contractor backups
19 for that armed agent. But, having a Federal agent that has
20 arrest authority provides a significant delta in your ability
21 to transit all the jurisdictions you have to go through.
22 Things like that have to be considered well in advance and be
23 part of our planning process so that when we get closer to
24 operations, we can be there successfully.

25 Another thing that has come up over the past couple

1 of years, there was a pamphlet or a paper that was prepared
2 on extra or severe accidents that possibly could exceed the
3 design requirements of casks. I'm not convinced that those
4 severe accidents would, in fact, present a significant threat
5 to casks, but conducting analysis that's peer reviewed to say
6 yea or nay or to address the questions is something that we
7 could probably take a close look at.

8 Now, this is just my sort of looking at things that
9 I know have come up in previous meetings and I've been to a
10 lot of those meetings in my previous EM capacity, not in an
11 RW capacity, but I've heard all the questions raised. There
12 haven't been many answers that have come back. We've got
13 this as a bundle of things I've extracted from previous
14 interactions with the State and regional groups, but will
15 probably be going out fairly soon and asking them what are
16 your current concerns? Are these still on your radar screen?
17 Are there other things that you would like us to address?
18 And so, it's not going to be just DOE heard you before,
19 here's what we're going to deal with, but we'll have a
20 significant interaction with them about are there more
21 immediate concerns that they've got at this point in time
22 rather than the ones that I've synthesized here from previous
23 meetings.

24 On the procurement front, a big part of that is
25 going to be my efforts to update the shipper infrastructure

1 information. We know the population of material in total
2 that I'll have to deal with at some time. So, my first stab
3 is going to be to come up with some internal ideas about the
4 fleet of casks I would have to have to bound all of those
5 contents. Once I've got that fleet of casks, then I start
6 talking to both the folks in the strategy side and looking at
7 the existing contracts and seeing what waste forms we think
8 might be in the first cue. The existing contracts talk about
9 who has priority, but in many cases, that who is a corporate
10 entity and that corporate entity has a lot of latitude in
11 selecting what fuel actually gets shipped. So, there's a bit
12 of guesswork involved. We'll wind up probably doing some
13 fairly significant modeling to make sure that I can bound.
14 And, unfortunately, I don't have a lot of cool graphs that
15 look at Monte Carlo simulations and whatnot, but at some
16 point we'll get to the point where I can discuss more
17 effectively all of the potential shipment arrangements that
18 could come up between fuel types and fuel conditions and
19 repository capabilities as far as facilities go and look at
20 how that might drive my initial selection of casks. I do
21 know that regardless of what comes first in the cue, I'm
22 going to have some challenging casks I'm going to have to
23 get. Some of the cask requirements are already bounded by
24 what the industry has currently. There are some truck casks
25 and some rail casks that conserve a fairly good sized portion

1 of what we need to ship. We do have high burnup fuel out
2 there and, undoubtedly, there will be a need at some point to
3 ship damaged fuel. We don't have casks that can effectively
4 address those concerns.

5 And so, as I look at the cask procurement
6 requirements, I'll look both at this total fleet, I'll look
7 at what we expect or what we think the first shipments might
8 be, and then I'll look at what my bounding requirements are
9 for really long lead procurement casks, and determine from
10 that which casks we have to go out and procure actually in
11 the first round of procurements. It will probably be a
12 series of procurements just because the total fleet that
13 we're looking at, if you tried to procure all of those in one
14 year, would be a whopper of figure that would be tough to
15 justify. And, again, since the program is going to be going
16 on for a considerable period of time, I think there's a
17 logical approach to having a phased acquisition process that
18 addresses what you expect your first shipments to be with
19 some conservatism to bound some "what ifs" around that and
20 have that be your procurement strategy.

21 Some of the factors in driving my cask selection
22 are the waste acceptance decisions that will have to be made
23 and the negotiations that have to be done and the Yucca
24 Mountain facility capabilities. We have both commercial fuel
25 and the DOE's spent fuel and the high level waste to consider

1 in our procurements. I want to make sure that we can support
2 the procurement far enough in advance of casks to support
3 this initial waste acceptance cue and the shipper and the
4 receiver facility capabilities, but I'm not going to limit
5 the initial procurement to just that set because that is at
6 this point still somewhat of a guess. There's going to be
7 changes between the time that I procure casks and when final
8 decisions are made about what actually will be shipped
9 initially. So, I have to be able to bound that uncertainty
10 with a little bit of extra capability.

11 This is a rough--well, it's not even much of a time
12 line. The time line ends the next month, but it shows that
13 the review of the total requirements is getting underway now
14 and will be more fully underway as the new fiscal year
15 starts. But, at some point, decisions from the facility
16 capabilities and from the waste acceptance then will drive
17 what my real needs are going to be and the larger
18 procurements as far as quantity goes for the initial fleet.

19 And, I believe, that takes you through all the
20 subjects I said I was going to talk about.

21 LATANISION: Gary, thank you very much.

22 LANTHRUM: Now it's time for you to touch my buttons.

23 LATANISION: Okay. First up is Dan Bullen.

24 BULLEN: Bullen, Board. Actually, just a couple of
25 quick questions. The first one being we heard from, I guess,

1 it would be your boss's boss, Margaret Chu, Dr. Margaret Chu,
2 in May that there would be a record of decision on mode and
3 route eventually. The date that comes to mind is--

4 LANTHRUM: Eventually, there will be.

5 BULLEN: The date that comes to mind is November of this
6 year. Do your plans still call for a mode and route decision
7 by that time or do you maybe want to defer to the parties
8 that be that are sitting behind me?

9 LANTHRUM: Well, the mode and routing decisions are
10 important decisions and there will be some work that I'll be
11 doing that will help inform those decisions this year. I
12 don't think I'll be in a position to make solid technical
13 recommendations, particularly on a Nevada route, if rail is
14 used. The EIS, the final EIS, did say there would be a
15 mixture of rail and highway shipments. Right now, if we
16 wanted to use that mix, it would have to be intermodal. We
17 can't get rail all the way to the repository. That does have
18 a constraint. I haven't been able to quantify what the
19 impacts of that constraint are on the total capability for
20 thru-put and I can't do that until I finish this complete
21 project planning and map out all the activities that I've got
22 and then put dollar figures on things. And, that's part of
23 the decision process that has to go back in. If Margaret
24 asks me this afternoon after this discussion what's my
25 recommendation, I'd have to shrug my shoulders because I

1 can't--I don't have a technical basis for making one. I've
2 got a good strong gut feel, but I don't have a solid
3 technical basis. And, I have to build that technical basis
4 before I can give them the ammunition to make informed
5 decisions and I sure don't want my bosses making decisions
6 without them being informed.

7 BULLEN: Okay. Bullen, Board. Just one last quick
8 question and this really doesn't deal with your realm except
9 for the fact that it's cask procurement. But, the Nuclear
10 Regulatory Commission is actually interested in performing
11 what's called a package performance study--

12 LANTHRUM: Performance testing, right.

13 BULLEN: --which would be full scale or large scale
14 testing of cask performance. How does that affect your
15 planned procurement?

16 LANTHRUM: Well, I can't really answer that. We do
17 support the casks, the package performance testing. We were
18 supposed to have wanted to provide funding for that last
19 year, and then with the funding shortfall, we weren't able
20 to. Right now, our budget calls for providing some funding
21 for this year, but that's really a NRC activity. If out of
22 that activity regulatory requirements change, our procurement
23 will comply with those regulatory requirements because we're
24 driven by the Act to procure NRC certified casks. If those
25 tests don't change the regulatory requirements, then my

1 procurement doesn't change.

2 BULLEN: Bullen, Board. You actually touched on
3 something that I'm interested in. Does the procurement for--
4 excuse me, does the payment for the package performance study
5 money that's provided by DOE come from your budget or is it
6 from a research budget or a science and technology budget
7 that--

8 LANTHRUM: It comes from my budget.

9 BULLEN: From your budget, okay. Thank you.

10 LANTHRUM: And, there is no particular logic for that.
11 It was just where it was plugged in because RW has no direct
12 interface except for the funding interface. We're not
13 providing any technical guidance of any other interface to
14 the NRC for those tests. It's their tests, they're running
15 it. All we're doing is providing money and I was just a
16 placeholder for it.

17 LATANISION: Priscilla?

18 NELSON: Nelson, Board. You talked a little bit about a
19 relationship with DHS and its agencies that you anticipate
20 working with regarding emergency response, other agencies
21 like Department of Transportation. And, what I, from the
22 standpoint of National Science Foundation, perceive as a
23 compounding difficulty of having some central way of dealing
24 with State DOT efforts since the last big bill that really
25 changed the flow of funds and control to States as opposed to

1 National causes a complication and ease of contacting and
2 working with State DOTs. But, one question that I have is
3 your thoughts on working with DOT, nationally and state, in
4 terms of part of your project?

5 LANTHRUM: Well, DOT to the extent that we exercise
6 highway shipments, they bound the requirements and so any
7 involvement we have in route selection is going to be tied to
8 the DOT requirements. That's the absolute minimum. States
9 do have the opportunity again for highway shipments to
10 specify preferred routes as long as those routes meet DOT
11 requirements. But, the big complications that I've got right
12 now are more NRC oriented with the cask procurements and
13 certification process than with DOT. There's an open door
14 and I've met with Rick Boyle from the DOT, but more of that
15 was talk about the rule changes that are coming up, the DOT
16 regs in 49 CFR and the 10 CFR regs. The 10 CFR 71 are being
17 changed to harmonize more directly with IAEA regulations. My
18 discussions with him, so far, have been just to the extent
19 that that harmonization may impact our operations. And, it
20 doesn't look like the areas that I'm concerned about right
21 now are going to be directly impacted initially.

22 NELSON: Okay. Well, let me just follow up on that for
23 a minute. I know from the research community that there's a
24 tremendous interest in the idea of extreme events, complex
25 systems, the increasing piggybacking of information

1 technology control systems on the physical infrastructure,
2 and vulnerabilities becoming realized or not that make
3 prediction of responses increasingly complex. Some of that
4 is expressed through some research projects that have gone
5 on, some of it in sessions at transportation research board
6 and other areas. There's a lot of interest in this.

7 LANTHRUM: Uh-huh.

8 NELSON: And, not just single hazard, but multi-hazard.
9 And, this not likely to be reflected in regulations that
10 exist now, but it's stuff that's going to be happening in the
11 window of planning that would be of interest to you maybe
12 five, 10 years out. So, I'm wondering what your thoughts are
13 about that and how you intend to track this and actually
14 think about this?

15 LANTHRUM: A bit part of that is building the network of
16 conductions. And, Rick Boyle is the manager of the research
17 and special projects administration within DOT. So, a lot of
18 that work will fall under his purview. And so, having the
19 contact and having a familiar face to work with, hopefully,
20 as things come up that would impact us, he'll give me a call.
21 We maintain informal contact now. I do participate in an
22 awful lot of the forum. I was involved as a presenter at the
23 last Institute for Nuclear Material Management presentations
24 in Scottsdale and I'll be involved in a lot more of those
25 national and international forums because a lot of the ideas

1 that you're talking about are presented there in conceptual
2 space long before they become involved in regulatory space.
3 So, right now, there's not a formal relationship or
4 connection, but the informal networks become fairly critical
5 in making sure that we have a chance to provide some kind of
6 feedback to those loops and influence to the extent that it
7 makes sense, the decisions that get made.

8 NELSON: Well, that's good. I encourage you to stay on
9 that because I think it's going to be an interesting five
10 years.

11 LANTHRUM: It's very interesting. Some of the stuff is
12 going on, and in fact, on the international side there's a
13 lot going on. The package performance testing that the NRC
14 is doing is of considerable interest both to myself and to
15 the private sector. The cask manufacturers are very engaged
16 in that because they're a little concerned about exactly how
17 the test procedures are developed because they're going to be
18 donating casks for the testing or selling casks. And, if
19 they are, in fact, selling one of their casks and they don't
20 like the way the test procedures are set up, they have a lot
21 to lose and not much to gain. So, there's significant
22 interactions there. But, there's also international tests.
23 The Germans are getting ready to a 25 foot drop test of a
24 spent fuel cask to simulate a handling accident in a facility
25 and I'm very interested and concerned about that.

1 NELSON: Because Sally Devlin asked me to ask this.

2 LANTHRUM: Okay.

3 NELSON: She's very interested in your thinking about
4 performance confirmation regarding your program and will you
5 be developing a performance confirmation strategy for the way
6 you think your system is going to operate?

7 LANTHRUM: I've scratched around with that. I've gotten
8 a lot of preliminary feedback that says since we are going to
9 be using casks that are certified by the NRC and they have a
10 performance basis that that performance basis is what we are
11 going to be meeting and not something that would require an
12 in-depth performance confirmation of our own. I haven't
13 reached any conclusions about that yet. That's something I
14 need to take more of a look at.

15 NELSON: Good. And, thinking about the overall system
16 instead of the individual component--did I get that right,
17 Sally?

18 (No audible response.)

19 NELSON: She's not even here. Forget it.

20 LANTHRUM: You lose the kudo for having asked the
21 question now.

22 NELSON: I'm not going to ask any more.

23 LATANISION: Great. All right. Thank you, Priscilla.

24 Mark, you're going to have the final question.

25 ABKOWITZ: Okay. Abkowitz, Board. First of all,

1 welcome.

2 LANTHRUM: Thanks.

3 ABKOWITZ: And, I look forward to working with you. I'm
4 a believer of systematic approaches to complicated problems
5 and I recognize a lot of very good things that you're
6 intending to do.

7 That having been said, I wanted to explore a couple
8 of issues with you. If we could go to Slide #5.

9 LANTHRUM: Yeah, this one.

10 ABKOWITZ: The commitment--you say a commitment was made
11 to issue a strategic plan in 2003. Are you maintaining that
12 commitment? It was a little fuzzy to me.

13 LANTHRUM: I'm doing everything I can to get a strategic
14 plan out in calendar year 2003. I won't be successful in
15 getting it out in fiscal year 2003.

16 ABKOWITZ: Understandable.

17 LANTHRUM: And, that's the burden that I bear. I think
18 it's important to get it right and we talked yesterday--you
19 talked with John and others about are you going to worry
20 about schedule most or worry about getting things right most
21 and currently I'm worried about getting it right more than
22 getting it out on a schedule.

23 ABKOWITZ: Okay. If we could now turn to Slide #9?

24 MR. LANTHRUM: Okay.

25 ABKOWITZ: And, the foremost bullet there is your

1 statement that the States, Tribes, and affected units of
2 local governments and other stakeholders will impact
3 transportation decisions. There was a transportation
4 external coordinating meeting that was held this summer, as
5 you mentioned, and that convened 60 to 70 different
6 stakeholders. I thought it was a very impressive group.
7 And, there was a, you know, a series of facilitated small
8 group discussions which basically was oriented at giving
9 these stakeholders an opportunity to express their concerns
10 and so forth and so on. One of the things that was--I
11 attended as an observer. Believe me, it was very hard to
12 observe and not say anything.

13 LANTHRUM: I bet.

14 ABKOWITZ: But, nevertheless, one of the things that I
15 heard quite a bit on the sidelines was the concern that was
16 expressed that by the timetable that was being discussed,
17 there would be no possible way for those stakeholders to have
18 an opportunity to review a strategic plan before it came out.
19 And, it looks to me like the schedule that you've espoused
20 to maintains that concern. And so, if you're really planning
21 to walk the talk about having the States, Tribes, and
22 affected units of local units of local government and other
23 stakeholders impact the transportation decisions, I would
24 strongly encourage that you start with Square One doing it
25 the right way.

1 LANTHRUM: I appreciate the input. Do you want me to
2 respond or are you just giving--

3 ABKOWITZ: Sure, please do?

4 LANTHRUM: Okay. My view of strategic plan, it's mostly
5 about strategy and the strategy really couldn't be nailed
6 down until the management team was in place and Ted Garrish
7 and I and others have had some discussions about what our
8 strategy is. I don't think it would have been beneficial to
9 get it out until we had internally gone through our thought
10 process about how to strategically approach the challenges
11 that we have. It would have been, I think, more harmful than
12 helpful to roll out a strategic plan before we'd thought
13 through the process internally. That said, we also have this
14 deadline that's been set that's a schedule and I'm going to
15 be late as it is. You're absolutely right that the
16 opportunity to have effective and meaningful interaction with
17 all of our stakeholder groups on that strategic plan before
18 it goes out and still get it out as close to the anticipated
19 deadline as expected, it's not going to be possible. Now,
20 there's been no shyness on giving comments to anything that
21 we've done whether it's been issued as a draft or as a final
22 document. I'm expecting this document to be fairly high
23 level to talk about again the strategic approach to things,
24 that we will be safe, we will be interactive, and it's going
25 to set the framework for what I'm hoping will be when I start

1 flying, my getaway from walking the dog and actually start
2 flying. And, hopefully, in the line of getting judged more
3 by those activities as we actually start interfacing with our
4 stakeholder groups on substantive issues rather than on the
5 fairly small and fairly high level strategic plan. But,
6 that's a fair shot and it's just--I came into the program at
7 the wrong time to help that work the way it probably should
8 have worked.

9 ABKOWITZ: If I might respond and I understand the
10 timing of your arrival, but we were told yesterday that
11 quality would not be sacrificed and that engendering public
12 confidence in repository planning and operations was of
13 utmost priority. And so, I have a little bit of difficulty
14 when you tell me that it's impossible with the schedule that
15 you've been given to do these things when we both know that
16 absent doing those things at the beginning of a process is
17 going to set you back considerably in engendering any kind of
18 public confidence when it comes to transportation planning.

19 LANTHRUM: A fair shot.

20 ABKOWITZ: One other thing I want to do and I know it's
21 getting late, I apologize. I wanted to ask you how long do
22 you believe it takes to construct a railroad spur once you've
23 been given the go-ahead to put the first, you know, shovel in
24 the ground?

25 LANTHRUM: I don't know. That's an area that I don't

1 have a lot of expertise in. There's not a lot of detailed
2 information available to me on the construction requirements.
3 Two years has been a number that's been tossed out, but I
4 don't have a solid technical basis for standing behind that
5 number. I expect in 2004 to be doing some preliminary work
6 that will help me answer that question more effectively than
7 I can right now. That's part of the challenge on, I think,
8 the lack of decisions is that I and my predecessor didn't
9 have a clear enough technical basis to say that there are
10 significant drivers. Once I have that information, I'll be
11 perhaps a better advocate for getting decisions made.

12 ABKOWITZ: And, once you have that infrastructure in
13 place and the last golden spike has been nailed in, how long
14 from your operational experience would it take before you
15 would actually consider, you know, moving a product on that
16 line?

17 LANTHRUM: My experience hasn't been involved with rail.
18 So, rail is a new area for me. I suspect that the time
19 required from when we hit our last spike in place to when we
20 could begin shipments of some kind would be fairly short
21 because we have the capability to do shipments that we
22 understand and have been doing for some time. Building on
23 the experience that EM has with doing rail shipments of spent
24 fuel and the experience that the Naval Reactors program has
25 on shipping spent fuel by rail, once the rail line is in

1 place and has gone through its operational readiness review,
2 I think that that would be a fairly short time horizon. But,
3 until I've laid that out and looked at all the requirements
4 because rail is an area where--the interactions for rail are
5 significantly different than they are for highway and the
6 rail lines themselves currently have a lot more latitude on
7 routing decisions since it's all through private land. The
8 rail line owns the land. The process is something that I'm
9 not familiar enough with to give you a good answer for.

10 ABKOWITZ: Okay. And, I understand that a rail spur
11 would not be able to be started until you have a construction
12 permit?

13 LANTHRUM: That's the current--

14 ABKOWITZ: And, you can't get a construction permit
15 until you get a license?

16 LANTHRUM: That's the current thinking.

17 ABKOWITZ: So, when would be the earliest you could
18 possibly expect to get a construction permit?

19 LANTHRUM: Well, right, John--right, right. It would be
20 after construction authorization and that's anticipated to
21 be--December of '07 is the--

22 ABKOWITZ: Okay. So, if I could do the math under the
23 most ideal of scenarios, the earliest you would get
24 authorization to construct would be December of '07?

25 LANTHRUM: Right.

1 ABKOWITZ: The earliest that it would be complete would
2 be December of '09.

3 LANTHRUM: You're looking at a rough ballpark figure of
4 two years.

5 ABKOWITZ: The earliest that you would be able to even
6 try to do something with that would be in 2010.

7 LANTHRUM: Which meets the current requirements.

8 ABKOWITZ: Well, but that is assuming, as I said, an
9 ideal scenario.

10 LANTHRUM: Absolutely.

11 ABKOWITZ: So, what I would strongly encourage even
12 today, especially given that you've decided to delay for some
13 period of time the mode and route record of decision, is to
14 at last acknowledge to the citizens of Nevada that there is a
15 strong possibility that you will be trucking spent fuel into
16 this facility if you indeed start your campaign in 2010.

17 LANTHRUM: Okay. Appreciate the feedback.

18 ABKOWITZ: Thank you.

19 LANTHRUM: You bet. I wish I had some more definitive
20 answers for you, but those will be forthcoming.

21 LATANISION: Do you have a question for Gary?

22 CORRADINI: A short question.

23 LATANISION: Go ahead?

24 CORRADINI: I'm not as versed in all this, but the one
25 group that we did hear about through questioning, I think,

1 two meetings ago, maybe it was three meetings ago, was the
2 Office of Naval Reactors. So, I'm curious about since they
3 had experience with rail shipments and so--I'm not you and so
4 I'm not standing up there. It seems to me being not a
5 transportation expert that rail shipment seems the most
6 logical way in almost any category from your mission
7 statement. But, that's a comment.

8 What I'm curious about is the Office of Naval
9 Reactors' experience and how you can draw on it relative to
10 rail shipments, relative to a single cask that essentially
11 packages the material, then takes it and disposes of it.
12 Because if I misunderstand, the members will--my colleagues
13 can tell me if I'm remembering wrong. It was two or three
14 meetings ago we were told by questioning that Office of Naval
15 Reactors is going to have the same thing that is transported
16 that is disposed of. Am I misunderstanding?

17 LANTHRUM: That's correct, I think.

18 CORRADINI: So, is there something to be gained by
19 looking at their expertise and their planning? Particularly,
20 at least, in my curiosity, the single canister to be the
21 transport and the disposal canister? It's a question that
22 you don't have to answer now, but that's the one interesting
23 thing that has gotten me since we first heard about this
24 about two or three meetings ago.

25 LANTHRUM: And, actually, that's kind of gone like a lot

1 of things in this program. The program has been around long
2 enough, a lot of the questions that will likely come up under
3 my tenure have come up before and have been either deferred
4 or addressed or closed. The question of a multipurpose
5 canister came up previously some years ago, a canister that
6 could be used for storage, for transport, and for disposal.
7 At the time the disposal configuration wasn't well enough
8 known to proceed and funding was cut. So, nothing came of
9 it. The questions are being asked again, and as we move
10 closer to finalizing the license application and the
11 configuration of that disposal canister, that is something we
12 can look at. We do have the challenge of there's an awful
13 lot of fuel that's in canisters currently that is not set up
14 for disposal. And so, we'll still have to deal with the
15 backlog that we have and additional waste is being generated
16 all the time, but if we can get to a position and if it makes
17 business sense which is going to be one of our drivers, it
18 would be nice to see a program that could accommodate a
19 cleaner flow with less impact to all those affected. And, to
20 the extent that it makes a good--a good business case can be
21 made for it, it would be pursued.

22 LATANISION: Gary, I want to thank you on behalf of the
23 Board for being with us today. This early stage in your
24 tenure, I think you can sense from the questions that we're
25 very, very interested in this issue and we look forward to

1 hearing from you again in the future.

2 LANTHRUM: I'm sure I'll be up here a number of times.

3 LATANISION: I think that's probably right.

4 LANTHRUM: Hopefully, I'll bring an indication of
5 progress each time I come so that I can allay some of your
6 fears, but this was a bit of a trial by fire since I'm still,
7 like I said, trying to get my hand around all those dots of
8 work that's gone on in the past.

9 LATANISION: Thank you very much.

10 LANTHRUM: Thank you.

11 CORRADINI: Mr. Chairman:

12 LATANISION: Yes, sir.

13 CORRADINI: Into our public comment period and we have
14 three individuals that wanted to make comments.

15 First of all, Mr. Grant Hudlow?

16 HUDLOW: Yes, I'd like to put into perspective some of
17 the--one of the things that came up in the igneous talk. I'm
18 talking about having an event that causes maybe 25 rems to
19 get out to the boundary. Each of these fuel rods has the
20 equivalent fallout from several Hiroshima bombs. We're
21 talking about one heck of a lot more than 25 rems on the
22 boundary. One of those things from the bombs here, one of
23 them landed in Utah, killed some sheep, and ultimately I
24 don't know how many people. Another one landed in New York.
25 So, we could expect the same thing from an igneous event.

1 We could expect the same thing from a terrorist attack on the
2 transportation route. The public senses this Chernobyl size
3 accident that we're dealing with and the possibility of it.
4 And, that causes a lot of concern and just outright fear.

5 The other thing that I wanted to mention is that in
6 Deborah's talk an awful lot of what she was talking about in
7 industry we would call design build. And, when you go to a
8 regulator with a design build project, we would call it that.
9 Now, the nuclear industry does not. They don't call it
10 that, but the rest of the industry does. We would call it
11 that and then we would provide people like John Arthur that
12 have the experience with design build so that they would then
13 have confidence in what we're doing. Bechtel also has people
14 like that and I think I would recommend that Bechtel be told
15 to provide people like that so that their people are used to
16 handling--in a design build especially where the physics and
17 the chemistry isn't known yet like this project. For
18 example, in a design build, you have some really nasty
19 incidents and you need people that have the experience and
20 the background and the toughness to jump in there and
21 straighten them out and get it going again. The electronics
22 industry's space age kind of thing, those all have those kind
23 of people in it. People that have done that are also
24 addicted to that sort of thing. It's really exciting. And,
25 anything else is so boring that they won't bother with it.

1 CORRADINI: Thank you. Our next speaker is a Mr. Jacob
2 Paz.

3 PAZ: I make just very briefly two comments. The first
4 one, it would be interesting what is the effect of elevated
5 temperature on zeolite, sorption, and migration (inaudible).

6 The second comment which I'm going to make is on
7 the (inaudible) standard effect and this is a new emerging
8 science where if you irradiated cell, the neighbored cells
9 are being affected. We talked about 25 to 30 generations
10 would cause mainly is instability in the chromosome which
11 consequently can lead to cancer transformation. We talked,
12 in effect, in 100 mrem and lower. This has been challenged
13 in the new traditional risk assessment.

14 Last, I'd just like to cite a paper from Mothersill
15 (inaudible) Seymour. For the past 15 years, it is--has been
16 only recently become apparent that chemical in the natural
17 environment can also induce state of (inaudible) instability
18 in cell and enhance low dose chemical toxicity and probably
19 involve a (inaudible) standard effect. And, this is very
20 significant and it was earlier discussion what is the effect
21 of radiation. This area should be looked very careful by DOE
22 and other regulatory agency because we don't know. If you're
23 going to rely on the traditional risk assessment, you have a
24 very potential, very serious errors.

25 Thank you. If anyone, by the way, I am submit a

1 paper for publication which include all the references. I
2 gave it to Ellen Benson and I gave it also to committee, a
3 copy of it, which have the references.

4 CORRADINI: Thank you. Our final comment is from Ms.
5 Sally Devlin.

6 DEVLIN: Mrs.

7 CORRADINI: Mrs., sorry. Ms.

8 DEVLIN: I'm Sally Devlin and, once again, I want to
9 thank everybody for coming to Armagosa, Nye County, Nevada,
10 the home of Yucca Mountain. And, I hope you'll come again.
11 I love these meetings because I get to see you all and have
12 fun and tell you new jokes. So, I gave it to Dan. It's for
13 everybody I share. And, also, a copy of my NRC report and a
14 copy of my transportation report.

15 And, I am really so terribly thrilled that this
16 Board has finally broken it's maiden and you know I'm an old
17 race tracker and that is you finally have someone on board--
18 and this goes to Mr. Arthur and for Margaret, too--you've got
19 someone on transportation. And, we've been trying to get you
20 to that for 10 years. So, it is a wonderful thing to really
21 win a race and you just did.

22 I do have two comments. And, where is Gary?
23 There, okay. And, welcome aboard and I know that pursuant--I
24 was talking about looking for oil in Railroad Valley which
25 may affect Yucca Mountain and it may be going on in Lincoln

1 County, also another host area, but not very much like us.
2 And, that is my favorite term which I was castigating
3 everybody about, performance assessment. I am the perpetual
4 student and you don't know me, but I do everything by
5 teleconference and I cannot imagine that you cannot involve
6 the country in a teleconference on this very important
7 subject. It is one thing that could be taped, it could be on
8 disk, it could be everything, and get to the nation because
9 we want the information you're working on. I just proposed
10 to two new gentlemen who were here for the first time and
11 both of them were experts on the railroad. And, you don't
12 know me, but I've learned to build railroads, to build
13 barges, and to build all kinds of roads on transportation.
14 The only thing I don't know is the cost. And, of course,
15 when we start talking permit and so on, one of the things in
16 Margaret's packet is from the National Conference of State
17 Governors and there are 27 of them. At the last conference
18 in Vegas, my boyfriend from Denver presented this and I have
19 given her a correct copy. What this is is terribly important
20 because every state of the 27 charges anywhere from \$5 to \$26
21 for permitting waste going through. And, you're going to run
22 into this stuff. Now, in Nevada--and I can speak for Nevada
23 because I did my homework--and that is they charge \$500 for a
24 permit and then there's somebody in the back room in motor
25 vehicles that if you do have an accident puts the accident

1 money on it. So, it's very strange. Every state, I'm sure,
2 has their own idiosyncracies. In Nevada, we only have one
3 agency that's open 24 hours a day besides the brothels and
4 the casinos an so on and that's the highway patrol, nothing
5 else. Our health division, it's closed from 5:00 until 8:00
6 on Monday. So, all you have is the highway patrol. Our
7 roads are nine hazard roads. WE have no railroads. So, this
8 is the stuff you're going to run into in just Nevada and the
9 test site itself is 18,300 square feet. So, the State is
10 300--I mean, miles, yeah. So, you're getting into enormous
11 distances. You've getting into all that stuff. So, I really
12 do want performance assessment because that's what's
13 important to the public. So, I hope I've given you a hint
14 not to ignore us because we will not be ignored. I don't see
15 in modern education and everything else, every university is
16 teleconference, all this stuff. We want these meetings. We
17 learn more from the four NRC meetings on transportation and
18 then they sent me 1200 plus pages of transcript. I cannot
19 tell you how much I learned from them regarding
20 transportation because I've been living here and I don't know
21 about tunnels 10,000 feet up which might occur and what
22 happened. And, the Baltimore Tunnel fire July 17th, 2001,
23 that was all documented, 190 pages. I never knew any of that
24 stuff. I gave to Dan about the drilling for water in New
25 York. I never knew it was built in 1911. So, you're talking

1 about really fascinating stuff that is coming out that is
2 instant communication. All of this is instantly at our
3 fingertips and I hope you will do it. And, again, I welcome
4 you on board.

5 And, I had one other question and, of course, I
6 throw this at the Board every meeting. And, that is I love
7 you all for making such a fuss over my bugs and the colloids.
8 I just can't believe it. I have a million questions on the
9 colloids because if that hot stuff is in the mountain, won't
10 it affect everything and how will it affect the Alloy 22 and
11 so on because I know the bugs will eat the Alloy 22, but I
12 don't know about the colloids. And, I'd like more
13 information on the colloids that you found. I just think
14 that's so wonderful.

15 The other thing was on the volcanism or the igneous
16 activity. How do you like that, Dan? And, my question is,
17 of course, about the volcanism and the rhyolite and so on.
18 And, I'd like some more on that, too. And, we will be
19 reviewing this stuff and I will be meeting with the
20 university. And, I want everybody to know one of my friends
21 said what do you with all that paper? I can assure you I
22 have a 20 foot shelf at UNLV in the Reed Building and every
23 piece of paper I have gotten including some stuff from 1962
24 on Death Valley--but, every piece of paper that I've gotten
25 since 1992, '93, until the present day is in my library at

1 UNLV. And, whoever wants to get a PhD can really get it
2 because this stuff is fascinating and it gives you the whole
3 history, particularly on transportation which goes back to an
4 Idaho report of 1994. And, they're all at the university.
5 So, this is fun.

6 Anyway, again, thank you. I know everybody is
7 starving. And, thank you, Margaret; thank you, Mr. Arthur;
8 thank you, Board, my buddies over there. And, come again
9 very soon. Thank you.

10 CORRADINI: Thank you. So, to wrap up, I wanted to
11 thank our presenters from the DOE, from Nevada, from Nye
12 County, and to thank the Board's staff. I think the meeting
13 went quite well and thank the Board members. And, we'll see
14 you in January.

15 Meeting is adjourned.

16 (Whereupon, at 12:34 p.m., the meeting was
17 adjourned.)

18

19

20

21

22

23

24

25

1

2

3

4

5

6